

## DOCKETED

<b>Docket Number:</b>	17-AAER-05
<b>Project Title:</b>	Phase II Pre-Rulemaking
<b>TN #:</b>	220587
<b>Document Title:</b>	Transcript of 7212017 Invitation to Participate Workshop
<b>Description:</b>	INVITATION TO PARTICIPATE WORKSHOP FOR LOW POWER MODE AND POWER FACTOR, SOLAR INVERTERS, SET-TOP BOXES,AND GENERAL SERVICE LAMPS
<b>Filer:</b>	Cody Goldthrite
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	8/7/2017 2:12:18 PM
<b>Docketed Date:</b>	8/7/2017

BEFORE THE  
CALIFORNIA ENERGY COMMISSION

In the matter of, )  
 ) Docket No. 17-AAER-05  
 )  
Phase II Appliance )  
Pre-Rulemaking )

**ITP WORKSHOP FOR LOW POWER MODE  
AND POWER FACTOR, SOLAR INVERTERS, SET-TOP BOXES,  
AND GENERAL SERVICE LAMPS**

CALIFORNIA ENERGY COMMISSION  
FIRST FLOOR, ART ROSENFELD HEARING ROOM  
1516 NINTH STREET  
SACRAMENTO, CALIFORNIA

FRIDAY, JULY 21, 2017

10:00 A.M.

Reported By:  
Gigi Lastra

## APPEARANCES

CEC Staff Present

Ryan Nelson

Sean Steffensen

Kristen Driskell

Patrick Saxton

Carlos Baez

Public Present

Chad Worth, EIT, Energy Solutions

Charles T. Kim, P.E., Southern California Edison

Bijit Kundu, Energy Solutions

Pierre Delforge, NRDC

Anthony Serres, Philips Lighting

Katherine Dayem, Xergy Consulting, (WebEx)

Eric Rubin, Energy Solutions

Chris Granda, Appliance Standard Awareness Project  
(WebEx)

Peter May-Ostendorp, Xergy Consulting (WebEx)

Mary Anderson, PG&E

Alex Boesenberg, NEMA (WebEx)

Noah Horowitz, NRDC, (WebEx)

Debbie Fitzgerald, CableLabs (WebEx)

Richard Greenburg, Southern California Edison (WebEx)

## INDEX

	Page
Introduction - Ryan Nelson, CEC Sean Steffensen, CEC	5
Low-Power Mode and Power Factor Presentation and Discussion - Kristen Driskell, CEC	8
Solar Inverters Presentation and Discussion - Patrick Saxton, CEC	38
Lunch	
Set-Top Boxes Presentation and Discussion - Patrick Saxton, CEC	53
General Service Lamps Presentation and Discussion - Patrick Saxton, CEC	73
Adjournment	86
Reporter's Certificate	87
Transcriber's Certificate	88

1

## P R O C E E D I N G S

1  
2 JULY 21, 2017

10:00 A.M.

3 MR. NELSON: Good morning. My name is Ryan  
4 Nelson. I'm a Mechanical Engineer with the Appliances  
5 Unit, here at the Energy Commission.

6 Thank you for coming to the Invitation to  
7 Participate Workshops. Today's topics we'll be covering  
8 are low power mode and power factor, solar inverters,  
9 set-top boxes, and general service lamps.

10 Before we get started just a few items we need  
11 to cover. When exiting the building, please use the  
12 front entrance, exit that you probably used when you  
13 came in this morning. The one out here, to your left,  
14 is alarmed. If you exit that way, the alarm will sound,  
15 so just a warning.

16 However, in case of an emergency please feel  
17 free to use either exit to exit the building and we will  
18 gather at the park directly diagonal across the street,  
19 across the intersection, and do a head count out there  
20 with the rest of the Energy Commission.

21 The restrooms are located directly outside of  
22 the meeting room, kind of to your left across the lobby.  
23 And there's a snack bar up the stairs, in the center of  
24 the lobby, just at the top, in the left back corner if  
25 you need something to drink, or a snack, or something to

1 eat throughout the day.

2           So, here's today's schedule. The schedule is  
3 tentative depending on the interest of each topic. Just  
4 note, if this morning's session does move along rather  
5 quickly, we may move solar inverters to the morning  
6 session. We'll make that decision depending on how long  
7 the first topic takes.

8           Then, we'll break for lunch and depending on how  
9 the morning goes we will return and cover, hopefully,  
10 solar inverters, set-top boxes, and general service  
11 lamps. And then, at the end of the day, we will end  
12 with a general comment period.

13           Throughout today's presentations we'll stop and  
14 open the floor for comments and questions. Please limit  
15 an individual comment to five minutes so that everybody  
16 can be heard and all comments can be made.

17           For those in the room, sitting at a mic -- if  
18 you're going to make a comment in the room, please come  
19 up to the table and use a microphone. Make sure that  
20 the green light is lit up on the microphone. That means  
21 that it's on. Some of them don't turn off, so if it's  
22 on feel free to speak.

23           Please state your name and the organization  
24 you're with for the court report, so that we can get all  
25 of the comments documented properly.

1           We'll take comments from the room, first, and  
2 then we'll go online to the phone, or to the phone, and  
3 then online to the chat box, in that order. Sometimes  
4 they pop up differently, after we've moved from the room  
5 and we'll come back to get your comment, if need be.

6           If you have information that you consider  
7 confidential, and we'll cover this real quick, the  
8 Commission does have a confidentiality procedure. So,  
9 contact one of the staff directly and we'll start that  
10 procedure, and we'll work with you to get your  
11 information submitted. But please be aware that any  
12 information submitted as confidential cannot be used  
13 directly in the rulemaking process. We'll have to  
14 aggregate data or the information in some fashion, so  
15 that we can make it public to the -- we can make it  
16 accessible by the public.

17           So, if you have any questions on  
18 confidentiality, please contact staff directly, and  
19 you'll see those staff contacts throughout the day.

20           Now, I'm going to hand it over to Sean  
21 Steffensen to cover this flow chart. Thank you, Sean.

22           MR. STEFFENSEN: Good morning, Sean Steffensen  
23 with the Energy Commission.

24           The flow chart addresses why we request the  
25 information and how we plan to use it. We need the

1 information to define the problem; in this case an  
2 inefficiency. The information provided helps, then, to  
3 define the solution.

4           The scope and definitions provide the what of  
5 what will be included in the standard. How do we know  
6 what will and will not be subject to the regulation?  
7 The efficiency metric provides the measure by which we  
8 can rank the performance of individual products. There  
9 can be more than one efficiency metric to consider. One  
10 or more may be chosen to develop the standard.

11           The test method defines the conditions under  
12 which the appliance is tested. Test data identifies the  
13 relative performance of products and allows  
14 consideration of a standard.

15           Once these items are selected, scope,  
16 definition, test method, test data and standard, an  
17 analysis must be performed to understand the effect of  
18 the proposed standard. Does the standard achieve the  
19 goals of significant water and energy savings, while  
20 being cost effective and technically feasible? If so,  
21 then it is a good standard. If not, we should  
22 reconsider the data and modify the standard to meet the  
23 criteria.

24           Thank you.

25           MR. NELSON: Thank you, Sean. Next up on the

1 screen is a diagram of the rulemaking process.  
2 Currently, the blue arrow indicates where we are in that  
3 process. We're in a public workshop to vet information  
4 that was submitted during the invitation to participate.

5 The next step in the process will be we will  
6 invite you to submit proposals. That notice has already  
7 been posted and we will cover that further on in the  
8 day, but that's the next step.

9 You can see we're early on in the process. If  
10 you have information, either today or in the future,  
11 please feel free to submit it to the Energy Commission.  
12 The dockets are still open.

13 And that concludes my introduction. I'll hand  
14 it over to Kristin DRISKELL, for low power mode and  
15 power factor.

16 MS. DRISKELL: Thank you, Ryan. Good morning,  
17 everyone. My name's Kristin Driskell. I'm the Manager  
18 of the Appliances and Outreach and Education Office. I  
19 am not Soheila Pasha. Soheila's out sick today so I am  
20 presenting her presentation, in her place.

21 She is on the WebEx, so if I say something  
22 incorrectly or if there is a technical question I can't  
23 answer, I'm going to invite Soheila to chime in by  
24 phone.

25 MS. DRISKELL: So, this session we'll cover low

1 power modes and power factor. I'll start with the  
2 purpose of this proceeding, then we'll do low power  
3 modes and take your responses as I go through the  
4 slides. We'll cover power factor, then, and take  
5 responses. And then we'll have a time for general  
6 comments on low power mode or power factor, or both.  
7 And then we'll cover next steps.

8           So, this process really began in March 2012,  
9 when we adopted an order instituting rulemaking for  
10 standards, test procedures, and labeling requirements  
11 for three phases of appliances. This Phase I is still  
12 wrapping up. This is Phase II.

13           The last step we had, we had an invitation to  
14 participate workshop, which was held on May 11th, and  
15 the stakeholders were asked to provide data and analyses  
16 to support the Energy Commission's Phase II appliance  
17 standards.

18           In this workshop I will present the results of  
19 those comments received and provide areas for discussion  
20 on those comments, whether we missed anything or if you  
21 want to clarify any of the information that you  
22 submitted.

23           This is a list of the appliances that were  
24 identified in the invitation to participate. I'll be  
25 covering low power mode and power factor, starting with

1 low power modes.

2           The respondents to the invitation to  
3 participate, specifically on the low power modes, were  
4 the California Investor-Owned Utilities, ITI, or sorry,  
5 Information Technology Industry Council, Natural  
6 Resources Defense Council, TechNet, Consumer Technology  
7 Association, the Internet and Television Association,  
8 California Cable and Telecommunications Association,  
9 ARRIS Group, and Philips Lighting.

10           This shows the information requested in the  
11 invitation to participate. I will review, again, the  
12 responses we received, followed by a discussion section  
13 on each response to get your feedback or if you would  
14 like to add additional comments. And if we need more  
15 time for a discussion then I have planned for here we  
16 can have time at the end, under the General Comment  
17 section to take additional comments. Or, you can submit  
18 written comments to the docket.

19           The first subject is the framework. Because  
20 many products could potentially be in the scope of a low  
21 power mode's rulemaking, it is essential to develop a  
22 straight forward framework that can be applied across  
23 multiple product categories.

24           Most of the comments that we received supported  
25 the horizontal/vertical approach. In this approach

1 products are divided into different clusters, in which  
2 products with similar functions are grouped together and  
3 a horizontal-based power limit is assigned to each  
4 cluster.

5 Products with other specific functions or  
6 capabilities can earn additional power allowances or  
7 vertical adders.

8 The IOUs and NRDC suggested that we also include  
9 auto power down with these power limit standards.

10 Philips suggested that the policy should be  
11 applied to the system as a whole and not be applied at  
12 the component level.

13 CTA, CCTA and NCTA suggested that if small  
14 network equipment end up with the roadmap scope, they  
15 should be included with set-top boxes, not separately  
16 with low power modes.

17 At this point I'll break for a discussion. Are  
18 there any comments on how products in the scope should  
19 be divided into different clusters, what each cluster of  
20 products should include, or any specific products or  
21 product categories that we can include in these  
22 clusters, or exclude?

23 I'll start with comments in the room. Pierre.

24 MR. DELFORGE: Pierre Delforge, NRDC. As  
25 indicated in our comments we support keeping the scope

1 as broad as possible at this stage of the proceeding.  
2 The savings potential from low power mode comes from  
3 being able to address as many products as possible,  
4 given that individually each product may have limited  
5 savings. But the majority of savings comes from being  
6 able to address them in a cross-setting manner.

7           There may be reasons to narrow the scope down,  
8 you know, further down the road, when we have better  
9 analysis and data. But at this time we think it's  
10 important to keep it as broad as possible.

11           MS. DRISKELL: Thank you, Pierre.

12           Anyone else in the room? Do we have any  
13 comments online?

14           MR. BAEZ: Online we have Katherine Dayem. Did  
15 you have a comment, Katherine?

16           MS. DAYEM: Yes, this is Katherine Dayem, on  
17 behalf of the California IOUs.

18           First, we echo Pierre's comment about first  
19 having a broad scope and considering a broad scope, and  
20 then use test data and information to narrow that scope  
21 down, as necessary.

22           And then another comment on the clusters and  
23 what products should be included in them. The IOUs are  
24 not ready to make recommendations on that, yet. We'd  
25 like to collect information and base those decisions on

1 test data and product investigation, before making some  
2 recommendations on clusters.

3           And just to clarify, the four clusters that are  
4 given for example, on the top of this slide, those were  
5 proposed by Bruce Nordman, when he was talking about  
6 clusters for network standby. And so, the IOUs aren't  
7 recommending those for this scope, which could include  
8 more functionalities beyond network connectivity for the  
9 low power mode roadmap.

10           So, we see the goal of creating these clusters  
11 as a means to group similar product categories together  
12 that provide similar functionality or service to users.  
13 And that way the adders in each cluster can be based on  
14 similar cost effective, technical pathways that each of  
15 the product categories in the cluster can use and  
16 implement.

17           So, that's just a little background behind the  
18 IOUs' thinking on clusters.

19           MS. DRISKELL: Thank you, Katherine.

20           Are there any other comments on framework?

21           Seeing none, I'll move to the next topic.

22           The next main topic is product definitions and  
23 scope. The IOUs and NRDC, as we actually just  
24 previously heard, recommend that we keep a broad scope,  
25 including consumer electronics. NRDC further

1 recommended that we include products with existing State  
2 standards, since they are not federally preempted. Both  
3 IOUs and NRDC recommended excluding federally preempted  
4 products at this time.

5 ITI suggested including products that have the  
6 highest potential for energy efficiency and recommended  
7 not including products that are federally or  
8 internationally regulated, mobility products that  
9 primarily operator on battery power, or network or  
10 network infrastructure equipment.

11 Philips recommended including connected indoor  
12 and outdoor lighting.

13 And CTA, CCTA, NCTA and ARRIS recommended or  
14 commented that the execution of the 2013 voluntary  
15 agreement on small network equipment resulted in ongoing  
16 improvements to those products and suggested that,  
17 therefore, small network equipment be excluded from the  
18 scope here and just covered under the voluntary  
19 agreement.

20 Product definitions are also very important to  
21 ensure that we all understand what products meet the  
22 intended scope and what don't.

23 Most of the comments didn't include definitions  
24 at this time. However, Philips provided a list of new  
25 definitions for function, modes of operation, off mode,

1 and standby mode.

2 I'm going to pause for a minute so that anyone  
3 who hasn't seen this can read through some of those  
4 definitions.

5 (Pause)

6 MS. DRISKELL: Philips also provided definitions  
7 for active mode and standby power. Some of these  
8 definitions are specific to lighting products, so we  
9 would need product definitions that are broader than  
10 just lighting products in order to do a low power  
11 roadmap.

12 At this point I'll pause for some discussion.  
13 Are there definitions available or references for  
14 definitions for other products that should be in the  
15 scope?

16 Should each product cluster have different  
17 levels and definitions for sleep and standby modes? And  
18 are there any other comments on scope?

19 Go ahead, Eric.

20 MR. RUBIN: Hi. Eric Rubin on behalf of the  
21 California IOUs. First, I'd like to make a  
22 clarification about scope.

23 I think on the previous slide it said that the  
24 IOUs recommend excluding all federally regulated or  
25 state regulated products. And just a small

1 clarification on the state regulated products. It's  
2 only state regulated products that were regulated within  
3 the last five years that we would be considering to be  
4 excluded. Otherwise, they could be revisited.

5 So, basically in line with NRDC.

6 MS. DRISKELL: Thank you for that clarification.

7 MR. RUBIN: Sure. Also, on the note of  
8 definitions, we don't have definitions for different  
9 modes that we're ready to suggest at this time.

10 I noticed that a lot of the definitions that are  
11 up here so far are more mode centric. And I'd just like  
12 to highlight that the approach that we're currently  
13 taking is more function centric. So, looking at  
14 allowances for different low power mode functions,  
15 rather than power draw limits for different low power  
16 modes.

17 MS. DRISKELL: Thank you, Eric.

18 Any other comments in the room on product  
19 definitions and scope?

20 Any comments online?

21 Okay, we will move on to the next topic. I will  
22 not move on to the next topic.

23 MR. GRANDA: Hi, this is Chris Granda from the  
24 Appliance Standards Awareness Project. Basically, what  
25 the broad scope is as presented by NRDC and,

1 specifically also the inclusion of networking equipment.

2 Thank you.

3 MS. DRISKELL: Thank you, Chris.

4 All right, I will take the next slides then.

5 In response to our request for existing or  
6 under-development standards for low power modes we  
7 received a number of comments. Existing low power mode  
8 standards include European Commission, Natural Resources  
9 Canada, California Standards which were adopted by some  
10 other states, such as Connecticut and Oregon, the Korean  
11 E-standby Program, Energy Star, G-20 Connective Device  
12 Alliance Voluntary Agreement, and Communication and  
13 Power Management Protocols.

14 The IOUs commented that IEC 62301 has  
15 instructions for how to measure standby power. However,  
16 that there's no harmonized test procedure for how to set  
17 up the test before the measurements are taken.

18 The IOU CASE Team is working to develop the  
19 procedures for test setup for low power modes and power  
20 measurements for auto power down.

21 CTA, CCTA, and NCTA listed NCCTA 2043 and 2049  
22 as test procedures for small network equipment.

23 ITI provided the list here for test procedures.  
24 These include European technical specifications for  
25 routers and switches, and for network standby, IEC

1 measurements for standby power and household electrical  
2 appliances and for computers, and DUE test procedures  
3 for battery chargers.

4           Finally, Philips commented that NC and IEC are  
5 working to develop test procedures for lighting  
6 equipment and low power modes, including off, standby,  
7 and network modes.

8           I don't have a discussion question listed, but I  
9 will pause in case anyone has any questions or  
10 clarifications on existing test procedures or test  
11 procedures under development.

12           (Pause)

13           MS. DRISKELL: I see no comments in the room.  
14 Are there any comments online? Okay.

15           For baseline energy consumption we only received  
16 data for small network equipment. CTA, CCTA, and NCTA  
17 provided idle mode power of 9.38 watts for non-efficient  
18 models sold in 2015. The voluntary agreement sets the  
19 maximum allowance power at 7.92 watts.

20           Staff calculated average idle power for all  
21 devices according to the 2015 Voluntary Agreement  
22 Report, and found it to be 8.8 watts.

23           For discussion, are there estimates for baseline  
24 energy consumption for all devices in the scope, or  
25 sources where we can find those estimates? And how

1 should the Commission go about making duty cycle  
2 assumptions for each cluster of products?

3 Eric?

4 MR. RUBIN: Hi, Eric Rubin, on behalf of PG&E  
5 this time. I'd like to point out that PG&E is currently  
6 undergoing an in-depth data collection effort for this  
7 topic and others. It's the Codes and Standards Field  
8 Study. And the results of that will be certainly  
9 relevant to both of these questions.

10 One portion of the field study is a  
11 comprehensive survey of 1,000 homes in PG&E territory.  
12 So, that will be relevant to getting saturations for  
13 stock. Also, there's a metering component and sub-  
14 metering. So, from that we can get baseline energy  
15 consumption and should be able to tease out duty cycles,  
16 as well.

17 MS. DRISKELL: Do you have an estimate on when  
18 that data will be available for use?

19 MR. RUBIN: I'll defer to Mary on this.

20 MS. ANDERSON: This is Mary Anderson, PG&E.  
21 We're in the field on the metering study. The thousand-  
22 audit results are available right now. Please note, we  
23 have a thorough inventory, but did not go through  
24 people's drawers and closets, as it's a best practice  
25 not to.

1           But the metering, we should have a year's -- we  
2 should start getting the years' worth for the entire  
3 study about January 1, 2018, and we'll have a full year  
4 of data January 1st, 2019. But for many of these  
5 products that are not climate dependent, we should have  
6 data before then to be able to help inform this  
7 rulemaking.

8           MS. DRISKELL: Thank you, both.

9           Any other comments in the room on baseline?

10          Pierre?

11          MR. DELFORGE: Pierre Delforge, NRDC. I just  
12 want to mention that there's the NRDC In-home Energy  
13 Analytic Study from 2015 that's available, and  
14 referenced in our comments, where we measured --  
15 actually, we did a detailed audit of ten homes, went  
16 through the closets and everything. And we found an  
17 average of 60 devices per home. And this data is  
18 available in our report.

19          MS. DRISKELL: Thank you, Pierre.

20          Are there any comments online?

21          Okay. We received the market data shown here.  
22 ITI commented that by 2020 there will be 50 billion  
23 internet-connected devices altogether. And for small  
24 network equipment there are about 2.6 million broadband  
25 modems, 20.7 million integrated access devices, and

1 about 5.6 million local network equipment sold in 2015.

2 The source of this data is the annual report  
3 from 2015, for the Small Network Equipment Voluntary  
4 Agreement.

5 For discussion, do these estimates seem  
6 reasonable? And is there additional data available on  
7 stock and shipments for products that are potentially  
8 included in the scope of this roadmap?

9 Eric?

10 MR. RUBIN: Just Eric Rubin, on behalf of PG&E.  
11 To echo my last comments, the Codes and Standards Field  
12 Study will be relevant to the stock, specifically the  
13 inventory, which is already complete.

14 MS. DRISKELL: Thank you.

15 Any comments online? Okay.

16 We also requested information for modes of  
17 operation, duty cycle, product lifetime, energy-  
18 consuming features, energy-saving features, tradeoffs  
19 and solutions, cost analysis, and impacts to small  
20 businesses, and market competition.

21 We didn't receive any comments on these topics.  
22 This is understandable since many of these topics rely  
23 heavily on what products are included in the scope of  
24 the roadmap. So, we expect that we will receive data on  
25 these topics as we develop the roadmap and receive your

1 proposals.

2 I'm going to turn, now, to power factor. These  
3 are the organizations and individuals who submitted  
4 comments on power factor. The California Investor-Owned  
5 Utilities, Information Technology Industry Council,  
6 Natural Resources Defense Council, ARRIS Group, and  
7 Armin Hauer.

8 Again, this is the list that shows the  
9 information we requested in the invitation to  
10 participation. Similarly to the last bit, I will review  
11 the responses we received, followed by discussion  
12 questions to get your feedback, or if you would like to  
13 clarify anything, or add additional comments.

14 And if we need more time for discussion, there's  
15 still a general comment period at the end or you can  
16 submit written comments.

17 Power factor, like low power modes, has the  
18 potential to cover a wide range of devices. However,  
19 unlike low power modes, power factor minimums can be  
20 applied across all products without impacting their  
21 functionality.

22 NRDC and IOUs agree that a horizontal policy  
23 could be applied for a power factor, rather than a  
24 vertical approach of setting power factor requirements  
25 for each individual appliance.

1           For discussion, should products be divided based  
2 on displacement power factor and harmonic distortion or  
3 on product types, similar to low power modes?

4           Is there another framework that might work well  
5 for power factor?

6           And I think a question that's not on here, but  
7 I'm going to ask anyway, should a power factor roadmap  
8 focus only on specific modes as an example for  
9 framework, such as active mode versus low power modes?

10          And I'm going to pause, now.

11          (Pause)

12          MS. DRISKELL: I see no comments in the room.  
13 Are there comments online?

14          MR. BAEZ: Online, we have a hand raised from  
15 Peter Meaustindorp. Do you have a comment, Peter?

16          MR. MEAUSTINDORP: Yes, I do. Hi, Peter  
17 Meaustindorp on behalf of the California IOUs. Just a  
18 point of clarification. So, I think while it is true  
19 that in our ITP submission the California IOUs support a  
20 horizontal approach and it could be feasible for a power  
21 factor. Our ITP submission, though, also presented  
22 optional frameworks, such as a vertical approach to  
23 addressing power factor in which, you know, several, it  
24 could be 10, or a dozen, or 20 high-priority power  
25 factor products are visited as part of the roadmap.

1           Ultimately, you know, we think that a technical  
2 analysis should drive that decision. And so, we're  
3 conducting ongoing analysis and data gathering to assess  
4 those sorts of decisions.

5           I suppose, you know, another question directly  
6 related to the discussion question on the screen, should  
7 products be divided based on displacement power factor  
8 and harmonic distortion?

9           I think that is a possibility. We would say  
10 that those are viable ways to divide products in terms  
11 of the technical pathways that might be appropriate to  
12 achieving savings. This would be more relevant in a  
13 horizontal approach, the need for clustering. But it's  
14 too early to know what the best approach for clustering  
15 might be, you know, were the CEC to pursue a horizontal  
16 approach.

17           So, I think that kind of summarizes our stance  
18 on this one, so just some points of clarification.  
19 Thanks.

20           MS. DRISKELL: Thank you, Peter.

21           Pierre?

22           MR. DELFORGE: I do have a comment. So, we  
23 think it's important to -- I acknowledge Peter's  
24 comments on the fact that there may be some alternative  
25 ways. But at this stage we still support doing a

1 horizontal approach because we think that the technical  
2 pathways to pulling power factor are probably common.  
3 You know, power factor, distortion power factor comes  
4 from situational power supplies. And, therefore, the  
5 technical pathways are likely to be within power  
6 supplies. And we see it as a good candidate for a  
7 horizontal approach.

8 But, obviously, you know, we agree that the  
9 analysis should inform the ultimate decision about how  
10 to go about this.

11 In terms of the question on active versus --  
12 and/or low power modes, we think it's important to  
13 include all modes and to include low power modes.  
14 Although power factor impacts are much lower in low  
15 power modes, they're also additive. And given the high  
16 number and the growing number of products with low power  
17 modes, with the internal things, you know, internal  
18 connectivity or ways and modes, these add up and in  
19 aggregate they can have significant impacts.

20 So, I think it's important not just to limit  
21 power factor, as has been done so far to set a limit,  
22 like 75 watts, but to look at opportunities even at low  
23 power levels.

24 MS. DRISKELL: Thank you, Pierre.

25 We received several comments on scope and

1 definitions for power factor, similar to the comments  
2 received on low power modes.

3           The IOUs and NRDC suggest that the Commission  
4 initially consider low power mode and power factor  
5 together. So, I assume similar products and clusters.  
6 But to be open to decoupling them if more analysis and  
7 data becomes available that indicates that separate  
8 approaches may result in more energy savings or be more  
9 cost effective.

10           ITI suggested including those products that have  
11 the highest potential for energy efficiency and  
12 excluding products already regulated by federal or  
13 international standards.

14           ARRIS suggested excluding small network  
15 equipment from the scope as it's already covered under a  
16 voluntary agreement.

17           Are there any other additional comments on scope  
18 and definitions?

19           Are there any comments online? Okay. I have  
20 some hand raises popping up.

21           MR. BAEZ: A hand raise from Katherine Dayem.  
22 Do you have a comment, Katherine?

23           MS. DAYEM: Yes, thanks. Katherine Dayem, on  
24 behalf of the California IOUs.

25           Just kind of a response to ITI's suggestion to

1 exclude internationally-regulated products. There is a  
2 standby regulation in Europe and I think that's what  
3 they are referring to excluding.

4 But the IOUs think that the Energy Commission  
5 should also look at these products to be regulated and  
6 not exclude them.

7 You know, we see different products developed  
8 for different markets and just because a product is  
9 regulated in one market doesn't necessarily mean that  
10 the energy-efficient products actually make it to the  
11 U.S. market.

12 And then a comment on small network equipment.  
13 We support including small network equipment in the low  
14 power mode scope. We see them as having high potential  
15 for savings and shouldn't be excluded at this time.

16 Thanks.

17 MS. DRISKELL: Thank you, Katherine.

18 Are there any other comments online? Okay,  
19 thanks.

20 We also requested information on energy-  
21 consuming features related to power factor. ARRIS  
22 suggested addressing poor power factor -- or, responded  
23 that addressing poor power factor in products with  
24 capacitive inputs, like consumer electronics, could  
25 result in higher energy consumption if the Commission

1 does not also address power factor, and high power  
2 consumption products with inductive inputs, like  
3 refrigerators.

4 NRDC commented that poor power factor causes  
5 energy losses in the building wiring and on the grid,  
6 which wastes energy.

7 IOUs suggested evaluating opportunities to  
8 improve both displacement power factor and harmonic  
9 distortion, and consider a range of technological  
10 pathways for improving power factor appropriate to each  
11 situation.

12 Just as different features may result in low  
13 power factor, depending on the product application,  
14 there are multiple ways to possibly correct power  
15 factor. Are there any thoughts on how a roadmap could  
16 achieve this by allowing for multiple pathways?

17 I don't see any comments in the room. Are there  
18 comments online?

19 MR. BAEZ: Yeah, I have a hand raised from  
20 Peter. Do you have another comment, Peter?

21 I do thanks. Peter Meaustindorp on behalf of  
22 the California IOUs.

23 I just wanted to return to this point. I don't  
24 know if there is a representative from ARRIS present  
25 that maybe could help explain this. But it was

1 suggested that power factor improvements, in their ITP  
2 response they suggested that power factor improvements  
3 wouldn't be as helpful as we might think because there  
4 is this combination of capacitive products, and they  
5 balance out the inductive products, like motors, you  
6 know, and refrigerators, and the like.

7           Electronics and motorized appliances exhibit  
8 sort of fundamentally different power factor problems.  
9 One, the electronics based on harmonic distortion,  
10 related to switch power supplies, as Pierre noted  
11 earlier, and the other related to displacement power  
12 factor issues. And they're somewhat different.

13           And to our knowledge, there's really no evidence  
14 to suggest that these loads balance each other out. We  
15 haven't seen the data on that or any research.

16           So, you know, we would encourage the CEC to  
17 continue -- that the Energy Commission continues  
18 examining both of these opportunities for power savings  
19 potential through power factor improvements.

20           MS. DRISKELL: That you, Peter. And I don't  
21 believe there is a representative for ARRIS in the room,  
22 although there may be online.

23           ARRIS REPRESENTATIVE: There is online. Can you  
24 hear me?

25           MS. DRISKELL: Yes, we can hear you.

1           ARRIS REPRESENTATIVE: Yeah, I would suggest the  
2 relationship is not perfect, but because one is leading  
3 and one is lagging there's an element of correction  
4 within there. And just looking at one part of the  
5 network will make a difference. It's not a whole  
6 solution, but it will make the network worse just from  
7 addressing half the problem.

8           As I say, it's not an entire solution, but it's  
9 certainly a step in the wrong direction.

10          MS. DRISKELL: We were having a little bit of  
11 difficulty hearing you in the room. If you could submit  
12 your comments to the docket, that would also be really  
13 helpful.

14          ARRIS REPRESENTATIVE: Okay.

15          MS. DRISKELL: Thank you.

16          Pierre?

17          MR. DELFORGE: Yeah, Pierre Delforge, NRDC. I  
18 also am skeptical of the claim that they somehow offset  
19 each other to some extent and I haven't seen any data.  
20 So, I would ask the representative from ARRIS to provide  
21 such evidence, so we can examine it and make sure that's  
22 the case.

23          MS. DRISKELL: Thank you, Pierre.

24          I think there are more comments online.

25          MR. BAEZ: Yeah, Chris Granda had his hand

1 raised online. Do you have a comment, Chris?

2 MR. GRANDA: Yes, thanks. I wanted to second  
3 the comments by Pierre Delforge and Peter Meaustindorp.  
4 But also note that the National Electrical Manufacturers  
5 Association has done some research in this area and has  
6 an updated report that came out in the last few years.  
7 Which, unfortunately, I'm not able to put my hands on  
8 right now. But I will, if you let me know where I can  
9 forward that to the appropriate person.

10 MS. DRISKELL: You can forward it to Soheila  
11 Pasha or to our docket. And I think Soheila's  
12 information will be presented at the end of the slides.

13 MR. GRANDA: Great, thanks.

14 MS. DRISKELL: Thank you, Chris.

15 MR. BAEZ: A hand raised from Peter. Do you  
16 still have a comment, Peter?

17 MR. MEAUSTINDORP: No, I apologize. I just need  
18 to un-raise my hand, it looks like.

19 MS. DRISKELL: Okay, I think that's all of the  
20 comments online.

21 On the cost and benefits analysis we received a  
22 few different comments. One commenter asserted that  
23 power factor correction results in a retail cost  
24 increase of about \$3.00.

25 NRDC points out that the energy wasting costs of

1 poor power factor costs consumers money.

2           The IOU suggests considering upstream, grid-side  
3 power factor energy savings in addition to savings to  
4 the consumer. For example, there are upstream benefits  
5 from power factor improvement in reducing losses in  
6 distribution lines, and transformers, and in extending  
7 the life of system components like distribution  
8 transformers.

9           For discussion, should power factor correction  
10 be coupled with low power modes to improve the cost  
11 effectiveness of these efforts? Why or why not?

12           Eric?

13           MR. RUBIN: Eric Rubin on behalf of the  
14 California IOUs. The previous slide accurately captures  
15 our stance, which is that the two topics shouldn't  
16 necessarily be coupled.

17           One thing to particularly point out is that if  
18 the most appropriate approach for power factor is a  
19 vertical framework, then they definitely shouldn't be  
20 coupled.

21           MS. DRISKELL: Thank you, Eric.

22           Any comments online?

23           We requested information about test procedures  
24 for power factor. The IOUs commented that many power  
25 factor test procedures are specific to the appliance

1 type, such as for motors.

2 Two more generalized test methods would apply to  
3 power factor measurements and power supplies, both  
4 internal and external. Well, different ones for each  
5 one. But only apply to those products that have power  
6 supply, so not products with motors.

7 Some products already require power factor to be  
8 reported based on their specific test procedure.  
9 However, more testing guidance may be needed to develop  
10 horizontal test procedures.

11 Several test procedures may need to be pieced  
12 together to cover multiple products under a single power  
13 factor requirement.

14 Are there any additional test procedures or  
15 thoughts on test procedures that the Energy Commission  
16 should consider at this time?

17 I see no comments in this room. Are there any  
18 online? Okay.

19 For sources of test data NRDC submitted  
20 information about an EPRI report. That indicates  
21 significant energy savings, at least 240 gigawatt hours  
22 per year in California, from improvements to power  
23 factor.

24 That study focused on large loads, like  
25 televisions and desktop computers in active mode.

1 NRDC also submitted information about power  
2 factor in smaller loads, which I believe Pierre referred  
3 to earlier today. And these show those appliances in  
4 standby mode here.

5 The differences in the real and apparent loads  
6 for these appliances suggest significant potential  
7 energy savings from improving power factor.

8 Are there additional sources of test data that  
9 the Commission should consider?

10 I will not that the Commission's Modernized  
11 Efficiency Database system does collect some information  
12 on power factor specific to the appliances regulated.

13 I see no comments in the room. Are there any  
14 online? Okay, we'll move on.

15 We also requested information for modes of  
16 operation, duty cycle, product lifetime, market  
17 analysis, energy saving features, power factor  
18 correction techniques, specifically. Tradeoffs and  
19 solutions, impacts to small businesses, and market  
20 competition, and baseline energy consumption.

21 We didn't receive specific comments on these  
22 topics. However, this information may also be more  
23 readily available once we have a better sense of the  
24 scope for this roadmap. So, we look forward to  
25 receiving more information about specific power issues

1 here, along with the proposals and the invitation to  
2 submit proposals part of this rulemaking, and as we move  
3 through the roadmap.

4 I'll open it up at this time for any general  
5 comments that anyone present or online wishes to make  
6 related to either low power modes, or power factor, or  
7 both.

8 Mary?

9 MS. ANDERSON: Mary Anderson from the California  
10 IOUs. The Statewide Case Team strongly supports the  
11 Energy Commission's decision to include low power mode  
12 and standby power as a roadmap topic.

13 As NRDC showed, in the home idle load study, 23  
14 percent of residential electricity used in California is  
15 by products in low power mode, and products left in  
16 active mode while not being used.

17 So, there is a large potential savings  
18 opportunity. And the Statewide CASE Team supports the  
19 Energy Commission's suggestion to regulate low power  
20 modes using a horizontal approach, and encourages the  
21 Energy Commission to consider auto power down  
22 opportunities as part of the low power mode roadmap.  
23 Thank you.

24 MS. DRISKELL: Thank you, Mary.

25 Are there any comments online?

1           MR. BAEZ: Alex Boesenberg, online, has his hand  
2 raised. Would you like to comment, Alex?

3 Yes, I would like to submit, for consideration, that all  
4 of these comments about power factor and the interest in  
5 it is -- while it is appropriate, no one seems to have  
6 any definitive studies of the actual dynamics, and the  
7 situation as it exists in the grid and the various  
8 places on the grid.

9           I hope the Commission will consider performing  
10 these studies, rather than take action based on a lot of  
11 people's well-intended but, potentially, uninformed  
12 input. Thank you.

13           MS. DRISKELL: Thank you, Alex.

14           Mary has her hand raised in the room.

15           MS. ANDERSON: So, this is Mary Anderson, PG&E.  
16 I appreciate Alex's comment on the lack of data. As  
17 part of our field study we will be collecting -- for  
18 specific products, we'll be collecting power factor to  
19 allow us to get a better idea of what the potential is  
20 and what the potential problems are, and submit that to  
21 the docket to allow the Commission to make appropriate  
22 and well-informed decisions on this topic.

23           MS. DRISKELL: Thank you, Mary.

24           Are there additional comments online?

25           MR. BAEZ: Online, Chris Granda, you have your

1 hand still raised. Did you have an additional comment?

2 MR. GRANDA: No, sorry.

3 MS. DRISKELL: All right, that's all the comment  
4 we see.

5 I'll go over some next steps. So, following  
6 these workshops the Energy Commission will be requesting  
7 proposals for efficiency standards or measures, or  
8 actually in this case for roadmaps.

9 Proposals may be submitted between two days ago  
10 -- three days ago and September 1st. So, they're due  
11 5:00 p.m., September 1st.

12 The proposal template and guidance is available  
13 online and there will be a webinar on August 1st to go  
14 over the template, and what we're requesting through the  
15 invitation to submit proposals.

16 And, of course, Commission staff are available  
17 at any time to discuss questions and concerns about this  
18 proceeding.

19 We are very early in this process. We're at the  
20 Invitation to Participate Workshop. So, there's a lot  
21 of time to continue with public participation and input  
22 into the roadmap proceeding.

23 For any other discussion or comments, please  
24 don't contact me. Please contact Soheila Pasha. Her  
25 contact information is shown here. You may also submit

1 written comments to the docket at 17-AAER-12.

2 All right, thank you everyone. I'm going to  
3 invite Ryan back up here to take the next topic,  
4 potentially.

5 MR. NELSON: Thank you, Kristin. Let's take a  
6 10-minute break and we'll come back at the top of the  
7 hour. Or, I guess, it's just 11 minutes. So, we'll  
8 start again at 11:00. Thank you.

9 (Off the record at 10:49 a.m.)

10 (On the record at 11:00 a.m.)

11 MR. NELSON: So, I'm going to hand it over to  
12 Pat for solar inverters.

13 MR. SAXTON: Hello, everyone. My name is Pat  
14 Saxton. I'm an engineer in the Appliances Outreach and  
15 Education Office, with the Efficiency Division. And  
16 this is the solar inverters roadmap topic.

17 Today we'll be covering the overall purpose, the  
18 responses to the invitation to participate, the  
19 information the Commission requested, and the responses  
20 received. We'll have a time slot for general comments  
21 and then we'll cover next steps.

22 So, the Commission is gathering information for  
23 Phase II products for appliance efficiency regulations.  
24 And in the case of solar inverters, an efficiency  
25 roadmap. The invitation to participate is an

1 opportunity for stakeholders to provide information and  
2 data that help to shape the Commission's policy  
3 regarding these appliances.

4           The specific items for Phase II are commercial  
5 fans and blowers, expanded scope for general service  
6 lamps, spray sprinkler bodies, tub spout diverters,  
7 irrigation controllers, set-top boxes, low power modes  
8 and power factor. And then solar inverters is cut off  
9 there.

10           And I don't know how to resize the screen.  
11 We'll see if we can fix that. There we go. Perfect.  
12 Thank you, Ryan.

13           So, during this portion of the workshop we will  
14 discussion the information and data that has been  
15 submitted for solar inverters and the corresponding  
16 roadmap.

17           The only response received to the invitation to  
18 participate was from the California Investor-Owned  
19 Utilities.

20           The categories that the information -- the  
21 categories that the Commission requested information for  
22 were product definition and scope, test procedures,  
23 market characteristics, product lifetime, and potential  
24 efficiency regulations.

25           So, for the first category, product definition

1 and scope, there seems to be -- beyond just the comments  
2 received here, I think there's broad consensus that  
3 inverter product categories should be micro, string, and  
4 central inverters.

5           The IOUs commented that module level power  
6 electronics, such as power optimizers, should also be  
7 considered as a product category in the roadmap. And  
8 some of the supporting reasons for that is because they  
9 have a significant market share in the U.S. residential  
10 market segment. And they can also provide distinct and  
11 unique functionality from inverters.

12           We'll pause for comments on product definition  
13 and scope.

14           Carlos, do you have anything online? Okay.

15           Oh, yes, Charles?

16           MR. KIM: Charles Kim, Southern California  
17 Edison Company, on behalf of California Investor-Owned  
18 Utilities.

19           Solar inverter plays a vital role for meeting  
20 California renewable energy goals. And also, it is an  
21 enabling tool for achieving zero net energy homes by  
22 2020. And this effort is led by the California Energy  
23 Commission.

24           And because of this high importance, statewide  
25 impacts, and et cetera, California Energy Commission and

1 the Public Utilities Commission, and many other  
2 stakeholders are looking into a solar inverter, and in  
3 PV system, and et cetera.

4 And so, I believe that scope, the roadmap  
5 concept is very appropriate and I'm very thankful for  
6 CEC for including these topics in this Phase II  
7 rulemaking.

8 And I want to make specific comments about the  
9 scope. Since there are so many agencies looking into  
10 this, coordination and collaboration are very important.

11 CPUC have integrated distributed energy resource  
12 at this moment and they have a draft action plan. And  
13 one of the milestone on that action plan is by 2020,  
14 which coincides with ZNE residential, new construction  
15 to be ZNE, they have a 2020 vision of introducing smart  
16 inverters and functionalities, et cetera.

17 And, therefore, CPUC, under the direction of the  
18 CPUC there are smart inverter working groups formed, and  
19 they have also specific milestones as well. And right  
20 now they have Phase I completed. It has auto  
21 functionality requirement defined. And all solar  
22 inverters, by September 8th of this year, year 2017,  
23 must be smart inverters. And they have spelled out  
24 those functionalities in that Rule 21, regulated by the  
25 CPUC.

1           On the Phase II, March of year 2018, they're  
2 going to spell out the communication protocols that are  
3 needed to be a smart inverter.

4           And Phase III, the date has not been determined,  
5 yet, but they're going to define the (inaudible) of  
6 those smart inverters.

7           And I want you to take a close look at the one  
8 more item. It's called a DC-coupled inverter. Because  
9 of ZNE and because of over-generation, because of  
10 interconnection requirements in operation end, and all  
11 the functionality associated with the smart inverters  
12 agencies, including Title 24 team of CEC, is looking at  
13 how PV can be integrated with the batteries. Locally,  
14 behind the meter.

15           So, DC-coupled refers to the inverter that  
16 manages both solar panels, as well as batteries inside  
17 of homes, and commercial buildings, and et cetera. So,  
18 special attention needs to be given for those DC-coupled  
19 batteries, as well.

20           And for the scope, I want to make it a little  
21 more clear saying that when we say solar inverters, in  
22 September of this year California adopted smart inverter  
23 as a functionality. So, we may include those specific  
24 terms in the scope of this roadmap activity.

25           So, once again, I really appreciate the CEC

1 taking the leadership on this measure. And that I  
2 believe the roadmap concept, because there are too many  
3 moving balls, and many other agencies are looking into  
4 this measure, that's one, defining functionalities which  
5 has not been determined yet, fully. So, once again,  
6 collaboration and coordination is important. So, the  
7 roadmap concept is perfect for that. Thanks so much.

8 MR. SAXTON: Thanks for those comments, Charles.  
9 Any other on definition and scope?

10 MR. BAEZ: Online, Chris has his hand raised.  
11 Chris, did you have a comment?

12 MR. GRANDA: Just very briefly. I don't really  
13 have anything to add to Charles' comprehensive comments,  
14 but other than to support them completely. We're  
15 talking a rapidly expanding and evolving product  
16 category, and with an increasing range of functionality.  
17 And it's important that we make sure we get that all  
18 covered. Thank you.

19 MR. SAXTON: Great. Thanks, Chris.

20 Okay, moving forward. The Commission inquired  
21 about available test procedures that would cover both  
22 across product categories and functionality.

23 The IOUs identified three existing inverter test  
24 procedures. A European standard, EN 50530, for overall  
25 efficiency of grid-connected photovoltaic inverters.

1 IEC-61-683, an international standard for power  
2 conditions, and a procedure for measuring efficiency.

3 And the Sandia/California Energy Commission  
4 Performance Test Protocol for evaluating inverters used  
5 in grid-connected photovoltaic systems. I'll note that  
6 that document is a draft and dated October 2004. It's  
7 certainly been quite a bit in practice, but could use  
8 some modernizing.

9 To my knowledge, none of these three test  
10 procedures is comprehensive across every category and  
11 functionality. So, perhaps a combination of these might  
12 be necessary.

13 We'll pause again for comments.

14 MR. WORTH: Chad Worth on behalf of the IOUs. I  
15 agree with your comments that it's a little -- there are  
16 some gaps in the existing test procedures. And one item  
17 that we've heard that I think is a growing market, that  
18 really has a gap, is the DT-coupled inverters and how  
19 manufacturers are able to display the efficiency of  
20 those. It's an emerging market and perhaps growing, but  
21 definitely a gap in terms of how that information will  
22 be communicated to customers going forward.

23 MR. SAXTON: So, Chad let me make sure that I'm  
24 understanding you correctly. You think that the  
25 existing test procedures don't sufficiently characterize

1 efficiency for DC coupled inverters or they do it in a  
2 way that's not clearly communicative to consumers?

3 MR. WORTH: From what I understand and we're  
4 still digging into this more is that the CEC test  
5 procedure is not appropriate for the DC-coupled  
6 inverters. I guess there have been some representations  
7 where people have tried to use that test procedure, from  
8 what I understand, but it sounds like everybody may be  
9 doing it a little differently.

10 MR. SAXTON: Okay. Yeah, thanks for the  
11 clarification. I would definitely agree with that.

12 Yes, Charles?

13 MR. KIM: Operation of DC-coupled inverter has  
14 not been clearly defined. For example, PV solar, if  
15 there's over-generation is going to be charging the  
16 batteries. And then this might get into the different  
17 mode of the operation.

18 Or, simply a price mechanism may be better to  
19 sell electricity to the grid, and et cetera.

20 So, those roles have not been clearly defined,  
21 yet, that determines which mode that this inverter is  
22 in. So, when those modes are defined for grid-connected  
23 inverters, it might help us to define test procedures  
24 more clearly to accommodate that.

25 MR. SAXTON: Okay, thank you.

1 Any additional comments in the room or online?

2 The Commission also asked about market  
3 characteristics and, specifically, if Publicly-Owned  
4 Utilities in California were also applying the  
5 requirement that inverters begin complying with UL 1741  
6 supplemental assessment for autonomous functions that  
7 Charles had mentioned earlier.

8 The IOUs looked at several of the larger POUs,  
9 including SMUD, and it was clear that SMUD has aligned  
10 themselves and is requiring UL 1741.

11 For the Los Angeles Department of Water and  
12 Power, they have several overlapping interconnection  
13 requirements. And although it appears unlikely that  
14 they are requiring UL 1741 SA at this time, was not --  
15 they were not able to determine that with complete  
16 certainty.

17 And the other 43 electric POUs have not yet been  
18 fully reviewed.

19 I guess one note I would make is regardless of  
20 the requirements of any individual POUs, the market may  
21 not be providing any other inverters once 1741 SA  
22 becomes a requirement in IOU territories. So, that's  
23 something that we will all keep looking for information  
24 on.

25 The Commission also asked what activity was

1 happening in the other states around smart inverters.

2           And the IOUs noted that Hawaii has begun  
3 requiring inverters that comply with UL 1741 SA and has  
4 also required additional functionality for remote  
5 operation and configuration.

6           The IOUs also identified two separate pilot  
7 programs in Arizona, at Arizona Public Service and the  
8 Salt River Project, which are studying smart inverter  
9 functionality in order to better understand both grid  
10 impacts and operations.

11           The Commission asked about data sources for  
12 market availability of smart inverters. The IOUs noted  
13 the website at California Distributed Generation  
14 Statistics, which has extensive data for PV systems that  
15 have been interconnected in IOU territories.

16           And that data identifies the specific inverter  
17 and the quantity of inverters that have been installed  
18 at each interconnected PV system in IOU territories.

19           The Commission had asked about the involvement  
20 of small businesses in this market sector. And the IOUs  
21 noted that smaller businesses tend to be involved in  
22 sales and installation, rather than manufacturing.

23           I'll pause for any comments on the market  
24 characteristics items.

25           Okay, seeing none we're going to move forward to

1 product lifetime. The Commission had asked about  
2 identifying product lifetime for inverters, both across  
3 various equipment categories and any other defining  
4 characteristics.

5 The IOUs supplied information using manufacturer  
6 warranties as a proxy for product lifetime and noted  
7 that it does differ by product category.

8 For micro inverters, manufacturers' warranties  
9 often ranged from 20 to 25 years. Whereas for string  
10 and central inverters it's 10 to 12 years.

11 Again, we'll pause for comments.

12 The Commission inquired about the benefits of  
13 several potential efficiency regulations. One was the  
14 perceived benefits around a potential for testing and  
15 reporting requirements.

16 The IOUs commented that this would fill any data  
17 gaps that begin to emerge as the California Solar  
18 Initiative phases out.

19 The Energy Commission asked about the potential  
20 for maximum power point tracking efficiency  
21 requirements.

22 And the IOUs noted that this would provide  
23 information on how system configuration and equipment  
24 variation impact MPPT efficiency.

25 The Commission had previously noted that

1 conversion efficiency was quite high in inverters and  
2 asked what would be the potential benefits of efficiency  
3 standards because of this.

4           And the IOUs noted that due to the size of PV  
5 market penetration in California and the continued  
6 growth of PV penetration that even a small increase in  
7 conversion efficiency would have substantial benefits.

8           And finally, the Commission had inquired about  
9 limiting self-consumption during nonproductive hours,  
10 essentially standby.

11           And the IOUs noted that these losses are not  
12 captured by typical inverter performance metrics and  
13 that those losses may have a disproportionate impact  
14 since they're occurring when the power mix in California  
15 has a lower renewable content, meaning nighttime.

16           The IOUs also noted that the Energy Star  
17 specification for electric vehicle supply equipment  
18 might be a model for structuring a requirement on  
19 standby losses.

20           We'll pause for comments.

21           MR. WORTH: Chad Worth on behalf of the IOUs. I  
22 just want to point out, in our preliminary analysis  
23 we've been using the California DG Stats database, and  
24 cross-referencing it with the CEC inverter efficiency  
25 database. And perhaps not surprising, and promising,

1 generally inverter efficiency is improving over the  
2 years. And nighttime tare losses or standby losses have  
3 shown somewhat to be decreasing which points to what you  
4 would expect with a technology like this, where there's  
5 a very strong market incentive to generate as many  
6 kilowatt hours as possible from a solar system.

7           We're continuing to refine this data matching.  
8 But we are, with this product class, fortunate to have a  
9 rich sales-weighted database of the installed stock in  
10 California. And we'll continue to analyze that and  
11 provide more information in our comments.

12           MR. SAXTON: Thanks, Chad.

13           Any additional comments in the room or online?

14           The IOUs did note other relevant regulatory  
15 activity. And specifically that energy metering tariffs  
16 continue to evolve. And that the California Public  
17 Utilities Commission's proceedings should be monitoring  
18 as this has the likelihood to impact the market for  
19 inverters. The Energy Commission definitely agrees with  
20 that comment.

21           And also that the Smart Inverter Working Group  
22 is still active and that their efforts will result in  
23 additional changes to the Rule 21 interconnection  
24 requirements for Investor-Owned Utility territories.

25           As noted previously, the Phase I autonomous

1 functions become mandatory in IOU territories beginning  
2 this September.

3           The Phase II communication protocols have  
4 already been incorporated in Rule 21, with a to-be-  
5 determined effective date.

6           And the working group continues to examine  
7 additional advanced inverter functionality through Phase  
8 III and their recommendations will be forthcoming.

9           I'll pause for any comments.

10           MR. WORTH: Chad Worth, on behalf of the IOUs.  
11 One other relevant activity that we've become aware of  
12 and it would be good to coordinate with, as well as the  
13 updates to the National Electric Code and some of the  
14 safety, automatic shutoff requirements that are emerging  
15 in this market that appear to be shifting, further  
16 shifting the market towards module power level  
17 electronics.

18           MR. SAXTON: Yes, I definitely agree, Chad.  
19 Thanks for noting that.

20           Okay, that concludes the individually noted  
21 items. We will open for any general comments for issues  
22 that have not been covered.

23           Carlos, anything online? Okay.

24           So, the next steps following the invitation to  
25 participate response workshop that we're having today is

1 that the Commission is requesting proposals for  
2 efficiency standards or measures. Or, in this case for  
3 solar inverters it will be a roadmap.

4 The proposal template and guidance is actually  
5 online, with proposals due to the Commission on  
6 September 1st.

7 There's a webinar regarding those proposals on  
8 August 1st and that might be a good time to raise  
9 questions about the difference in the template for a  
10 roadmap versus standard.

11 But in general I would think it includes,  
12 obviously, scope and framework, but checkpoints along  
13 the way that would be incorporated into the roadmap.

14 Commission staff's available to discuss  
15 questions and concerns at any time during the  
16 proceeding.

17 We are very early in the process. There will be  
18 multiple opportunities for additional public comment as  
19 we go along.

20 My contact information is on the screen here and  
21 comments can also be submitted to the docket, 17-AAER-  
22 13.

23 And unless there are any additional comments,  
24 thank you for your time.

25 MR. NELSON: Thank you, Pat. We will take a

1 break for lunch. We'll reconvene at 1:00 p.m. with the  
2 next topic. So, we will hopefully have a little longer  
3 lunch break and we'll see you back this afternoon.

4 Thank you.

5 (Off the record at 11:25 a.m.)

6 (On the record at 1:01 p.m.)

7 MR. NELSON: Welcome back. We will begin the  
8 afternoon session here shortly. I'm not sure if there's  
9 anybody new in the room, but I'll do the introduction  
10 one more time and that should be it for the afternoon.

11 Our next topic will be set-top boxes followed by  
12 general service lamps.

13 Please use the entrance and exit that you used  
14 when entering the building this afternoon and this  
15 morning. The one out here is alarmed. If you use that  
16 exist, the alarm will go off. And in case of emergency  
17 use either exit and we will meet across the street,  
18 diagonally in the park.

19 Restrooms are located directly across the lobby,  
20 well, to the left across the lobby. And there's a snack  
21 bar upstairs, up the central stairs, on the second  
22 floor, in the back left corner, if you need water, or a  
23 beverage, or a snack.

24 So, throughout the presentations this afternoon,  
25 after a topic is discussed the presenter will open the

1 floor for comment. We'll take comments first from the  
2 room. If you're in the room, please come up to a  
3 microphone at the tables in front of you. If the green  
4 light is not illuminated, please press the button to  
5 turn on the mic. State your name, and organization, and  
6 make your comment.

7           If you're online, please use the raise your hand  
8 feature and we will call your name. Please state your  
9 name again, and your organization, so the court reporter  
10 can get the comments correct on the transcript.

11           If you're having issues with the phone, you can  
12 use the chat box through the WebEx application and we  
13 will try to get to your comment as best we can.

14           Again, if you have confidential information,  
15 please contact staff. The Energy Commission has a  
16 process of handling confidential information. Be aware  
17 that confidential information cannot directly support  
18 rulemaking. We have to aggregate it or figure some way  
19 to get it into the public record.

20           However, if you do have confidential  
21 information, feel free to contact us.

22           Now, I'm going to hand it over to Sean  
23 Steffensen.

24           MR. STEFFENSEN: Good afternoon. I'm Sean  
25 Steffensen with the Efficiency Division.

1           The flow chart addresses why we request  
2 information and how we plan to use it. We need the  
3 information to define the problem. In this case, an  
4 inefficiency.

5           The information provided helps, then, to define  
6 the solution. The scope and definition provide the what  
7 of what will be included in the standard.

8           How do we know what will and will not be subject  
9 to the regulation? The efficiency metric provides the  
10 measure by which we can rank the performance of the  
11 individual products. There can be more than one  
12 efficiency metric to consider. One or more may be  
13 chosen to develop a standard.

14           The test method defines the conditions under  
15 which the appliance is tested. Test data identifies the  
16 relative performance among products and allows  
17 consideration of a standard.

18           Once these items are selected, scope,  
19 definition, test method, test data and standard, an  
20 analysis must be performed to understand the effect of  
21 the proposed standard.

22           Does the standard achieve the goals of  
23 significant water and energy savings, while being cost  
24 effective and technically feasible?

25           If so, then it is a good standard. If not, then

1 we should reconsider the data and modify the standard to  
2 meet the criteria. Thank you.

3 MR. NELSON: Thank you, Sean.

4 So, on the screen now is a diagram of the  
5 rulemaking process. We're currently where the blue  
6 arrow indicates, the public workshop to vet the  
7 information submitted during the invitation to  
8 participate.

9 The next step will be the invitation to submit  
10 proposals, where stakeholders may submit proposals to  
11 the Energy Commission. That will be covered a little  
12 bit more through the presentations this afternoon.

13 On August 1st, we will have a webinar describing  
14 the process and going through the new proposal template.  
15 That's available online. So, please join us August 1st.

16 Now, I'm going to hand it over to Pat for set-  
17 top boxes.

18 My apologies, one second.

19 MR. SAXTON: Hi, good afternoon. I'm Pat  
20 Saxton. I'm an Engineer in the Appliances Outreach and  
21 Education Office. And I will be covering set-top boxes  
22 in this presentation.

23 We'll go through the purpose of this proceeding,  
24 the respondents to the invitation to participate, the  
25 information the Energy Commission requested, the

1 responses and information received. We will also have  
2 an opportunity for general comments and we will review  
3 next steps.

4           The energy gathering information for Phase II  
5 products, set-top boxes were specifically identified in  
6 the March 14th, 2012 order instituting rulemaking. Most  
7 of those products were examined for appliance efficiency  
8 regulations.

9           In this case, the Commission has taken the  
10 unusual step of indicating that we'll look at a roadmap  
11 for set-top boxes.

12           The invitation to participate is an opportunity  
13 for stakeholders to provide information and data that  
14 helps shape the Commission policy regarding Phase II  
15 appliances.

16           The specific categories that the invitation to  
17 participate requested information and data for are  
18 commercial and industrial fans and blowers, an expanded  
19 scope for general service lamps, spray sprinkler bodies,  
20 tub spout diverters, irrigation controllers, set-top  
21 boxes, low power modes, and power factor, and solar  
22 inverters.

23           During this portion of the workshop we will  
24 discuss the information and data submitted for set-top  
25 boxes.

1           The Commission received responses to the ITP  
2 from the following; the American Council for an Energy  
3 Efficient Economy, ARRIS Group, AT&T, DirecTV, Cable  
4 Vision, the California Cable and Telecommunications  
5 Association, the California Investor-Owned Utilities,  
6 Century Link, Charter Communications, Comcast, Consumer  
7 Technology Association, Cox Communications, Dish  
8 Network, EchoStar Technologies, The Natural Resources  
9 Defense Council, NCTA, the Internet and Television  
10 Association, Technicolor and Verizon.

11           The Energy Commission requested information in  
12 the following categories; product definition and scope,  
13 test procedures, sources of test data, market  
14 characteristics, product lifetime, installed base  
15 characteristics and product development trends.

16           Product definition and scope. Most commenters  
17 discussed the existing voluntary agreement and the  
18 potential renewal of the voluntary agreement. Some of  
19 those comments viewed the Commission roadmap as a  
20 parallel process to negotiations on the renewal of the  
21 voluntary agreement.

22           However, several industry comments implied a  
23 mutual exclusivity of the roadmap and the voluntary  
24 agreement, and also noted opposition to mandatory  
25 reporting requirements.

1           The Commission would just note that the presence  
2 or absence of a voluntary agreement does not impact the  
3 Commission's authority to investigate this topic and  
4 hold a roadmap proceeding.

5           Some comments mentioned small network equipment  
6 and the industry requested that the Commission exclude  
7 that small network equipment from the scope. But if the  
8 Commission does proceed, that they prefer small network  
9 equipment to be considered under the set-top box  
10 roadmap, rather than the low power roadmap that we  
11 talked about this morning.

12           Industry comments indicated a belief that  
13 preemption applies to cable set-top boxes. Energy  
14 Commission would like to note that we do not agree with  
15 that statement.

16           The California IOUs expressed support for  
17 development of a set-top box roadmap because additional  
18 savings remain available.

19           And the majority of comments agreed on aligning  
20 definitions with Energy Star Version 5.1 and the  
21 voluntary agreement.

22           We'll pause for any comments on product  
23 definition and scope.

24           Charles?

25           MR. KIM: Charles Kim, Southern California

1 Edison Company, on behalf of California IOUs. I'm very  
2 thankful that CEC is looking into a roadmap concept  
3 applied to the set-top boxes. I know the voluntary  
4 agreement expires very soon and there might be a new  
5 agreement that is on the horizon. But it creates an  
6 opportunity for us to pursue.

7           Because a number of products in California when  
8 it consists of set-top boxes, has been increasing. And  
9 they might, in some degree, offset the savings that I  
10 see through the new technology evolution and energy-  
11 saving features that create a savings through the new  
12 devices.

13           I know that set-top boxes can be very complex  
14 issues and the California IOUs look forward to support  
15 this measure, and then active engagement on this  
16 particular topic.

17           But I want to point out one key element. Some  
18 set-top boxes, maybe you are able to purchase it, but  
19 most of the consumers they are not. It comes as a part  
20 of the services.

21           So, in the context of this roadmap I want to see  
22 how we can address existing set-top boxes that has been  
23 used by our customers. Because legacy set-top boxes,  
24 they tend to use more energy and doesn't have advanced  
25 features that we see in the market today. And existing,

1 how to handle the existing set of boxes can bring  
2 significant energy savings and opportunities for  
3 Californians.

4           So, once again, I strongly support CEC taking  
5 into the roadmap concept on the set-top boxes. Thank  
6 you.

7           MR. SAXTON: Thanks, Charles.

8           Yeah, Bijit.

9           MR. KUNDU: Bijit Kundu, Energy Solutions, on  
10 behalf of the California Investor-Owned Utilities.

11           Just specific to the products definition and  
12 scope, we agree with aligning with Energy Star, the  
13 current Energy Star spec. The one clarification or item  
14 that we would like to see better defined, and the Energy  
15 Star specification defines set-top boxes as "Devices  
16 whose primary purpose is receiving video signals or  
17 services."

18           And we understand that there are devices called  
19 gateway devices, or gateway set-top boxes that may  
20 provide multiple services in addition to video. And we  
21 would like, at this early stage of the roadmap process,  
22 to make sure that they're considered in scope. Since  
23 most of the time these devices are always on.

24           And, of course, we'll be providing additional  
25 information at the appropriate time to CEC.

1 MR. SAXTON: Thanks for that clarification,  
2 Bijit.

3 Anyone else in the room? I think we did have  
4 someone online.

5 MR. BAEZ: Online we have Noah Horowitz. Noah,  
6 do you have a comment?

7 MR. HOROWITZ: Yes, this is Noah Horowitz with  
8 the Natural Resources Defense Council. I have more  
9 comments that will follow later, overall on the  
10 voluntary agreement.

11 But in terms of the scope, we think it's  
12 essential to include the main box that's going to be in  
13 the home, that's receiving and delivering, perhaps  
14 delivering the video around the home.

15 Sometimes this is called a server box or an  
16 internet access device, or a gateway box. Whatever it's  
17 called, this is likely to be the biggest energy-  
18 consuming set-top box in the home and we think it's  
19 imperative for it to be included in the roadmap that CEC  
20 is considering. Thank you.

21 MR. SAXTON: Anyone else, Carlos? Okay.

22 The Energy Commission requested information  
23 regarding the adequacy of the ANCII CTA-2043 test  
24 procedure. The majority of comments indicated a belief  
25 that it is sufficient and noted that Energy Star has

1 aligned with that test procedure.

2           The IOUs commented that a further study of how  
3 functions are enabled and disabled during setup and on  
4 mode might be appropriate to better understand if the  
5 test results reflect settings as used by consumers.

6           Again, we'll pause for questions or discussion.

7           (Pause)

8           For sources of test data, many commenters noted  
9 the voluntary agreement annual reports that are  
10 available. These showed that new set-top boxes have  
11 achieved significant reductions in annual energy.  
12 However, it was noted that gateways or internet access  
13 devices do not have reported data in the set-top box  
14 annual reports, but there may be some available in the  
15 report for the small network equipment, which is a  
16 separate voluntary agreement.

17           The URL in the second bullet is the website for  
18 information on individual devices that is part of the  
19 voluntary agreement. And it does have information about  
20 all the set-top boxes that are offered by service  
21 providers who are signatories to the VA. And that  
22 includes an annual energy consumption estimate for those  
23 boxes.

24           Other sources of information noted were the  
25 Energy Star certified product list and the forthcoming

1 2016 annual report for the voluntary agreement, which is  
2 supposed to be published this summer.

3           And there was general agreement among commenters  
4 that California-estimated savings can be established  
5 with a population weighting from the national savings  
6 estimates that are in these reports.

7           Again, we'll stop for comments.

8           (Pause)

9           MR. SAXTON: The Commission requested  
10 information on market characteristics. The following  
11 three studies were cited as providing information on the  
12 number of subscribers and the way that they are  
13 accessing content, such as the location, which device  
14 they're using, and the length of each access period.

15           Those first two are available freely and the  
16 third one is a report that would need to be purchased.

17           Multiple commenters noted that there's been an  
18 increasing number of whole home solutions and Cloud-  
19 based DVR services. And that those are resulting in  
20 significant savings.

21           Some comments also noticed that savings are  
22 increasing as the percentage of new equipment displaces  
23 old equipment. So that the percentage of new equipment  
24 is increasing relative to total equipment deployed.

25           There were several estimates of the number of

1 devices that are in circulation. The voluntary  
2 agreement indicated that -- excuse me, the annual  
3 reports from the voluntary agreement have indicated that  
4 about 122 million devices have been procured by VA  
5 signatories between 2013 and 2015. And that the  
6 upcoming 2016 annual report will estimate the percentage  
7 of devices that had been deployed since the beginning of  
8 the voluntary agreement in 2013.

9 This is a graphic from the 2015 voluntary annual  
10 report. It's indicating the change in weighted total  
11 energy consumption of several categories of set-top  
12 boxes. Including, DVR devices, non-DVR devices, thin  
13 clients, and then DTA is a category that is probably not  
14 particularly relevant for this discussion.

15 And finally, the California Investor-Owned  
16 Utilities submitted some information on duty cycle  
17 estimates. So, for several different categories of  
18 devices has an on-mode hours, multi-stream hours, and  
19 sleep hours. I think, and maybe the IOUs can clarify  
20 this, but for instance the 12.4 hours in the first box,  
21 for cable without DVR is actually the on-mode time of  
22 the device, not necessarily that the user was sitting in  
23 front of it for that long.

24 But, certainly, the Commission is interested in  
25 agreement or additional information with these duty

1 cycle estimates.

2 We'll pause for comments.

3 Yeah, Bijit?

4 MR. KUNDU: Bijit Kundu, Energy Solutions, on  
5 behalf of the California IOUs.

6 This information that we submitted was from an  
7 older Department of Energy field metering study, I think  
8 conducted in 2011. I might be getting the year wrong  
9 there. So, that was the only information we were able  
10 to find at the time.

11 We do know that as part of the voluntary  
12 agreement what is submitted by service providers are  
13 modal power draw, as well as annual energy consumption,  
14 and the energy consumption calculations that are used  
15 for each purchased set-top box.

16 And so, we know duty cycle information is out  
17 there and we would encourage data sharing with CEC,  
18 through the confidential process that was referenced  
19 earlier. We would like to encourage that.

20 MR. SAXTON: Thanks for those comments.

21 MR. KUNDU: For this roadmap process, yeah.

22 MR. SAXTON: Kristin?

23 MS. DRISKELL: This is Kristin DRISKELL from the  
24 Appliances Office. I actually have a question for PG&E  
25 regarding their field study that was mentioned earlier

1 in this workshop. Does the field study include metering  
2 of set-top boxes?

3 MS. ANDERSON: This is Mary Anderson from PG&E.  
4 Yes, it does. We will have delineated information by  
5 type of set-top box, as well as just overall metering.

6 MR. SAXTON: Any additional comments in the  
7 room?

8 MR. BAEZ: Online, Debbie Fitzgerald has a  
9 comment. Debbie, would you like to comment?

10 MS. FITZGERALD: Yes, I just wanted to clarify  
11 that the typical energy consumption values that are used  
12 in the voluntary agreement reporting is based on the  
13 same formula that is provided in the Energy Star Version  
14 3 program. And then going forward for tier two, it's  
15 the same duty cycle formula that is actually called out  
16 in the voluntary agreement document, itself.

17 So, those are publicly available, the tier one  
18 values are in the Energy Star Version 3 test procedures.  
19 And the tier two duty cycle is available in the VA  
20 document, itself.

21 MR. SAXTON: Thanks, Debbie.

22 MR. BAEZ: Another hand raised from Noah  
23 Horowitz. Did you have another comment, Noah?

24 MR. HOROWITZ: Yes, Noah Horowitz with the  
25 Natural Resource Defense Council.

1           In terms of the energy use overall statewide, we  
2 think it would be interesting to see if there's a way of  
3 better tracking the national and thereby the California  
4 set-top box energy use within a year. Right now there  
5 isn't stock data available, so there's some various  
6 assumptions being made. And with greater granularity or  
7 insight in terms of are DVRs being replaced or not, and  
8 in some cases we might be getting greater savings as  
9 there are solutions that allow you to receive service  
10 through an application and completely get rid of the  
11 boxes, which is both good for the consumer and for the  
12 environment.

13           So, we're wondering if there's some way to  
14 access that data through the roadmap or voluntary  
15 agreement process. And there should be a way to do that  
16 and still preserve the confidentiality of companies'  
17 inventories. Thank you.

18           MR. SAXTON: Thanks, Noah.

19           Anyone else, Carlos? Okay.

20           The Commission requested information on product  
21 lifetime of set-top boxes and specifically if that  
22 differed by equipment type or customer class.

23           There was general agreement among commenters  
24 that product lifetimes ranged from five to seven years.

25           Industry indicated that it's difficult to

1 generalize between any -- excuse me, industry indicated  
2 it's difficult to make generalizations that are  
3 segmented by equipment type or customer class. They  
4 also noted that some customers have been proactively  
5 requesting new equipment.

6           And there was a suggestion by industry  
7 requirements that large-scale, early requirement could  
8 have negative environmental consequences.

9           We'll take any comments on product lifetimes,  
10 now.

11           The Commission requested information on  
12 installed base characteristics for set-top boxes.

13           Commenters submitted a range of estimates for  
14 existing national stock. One end of those submittals  
15 was 227 million devices, which came from the 2015  
16 Voluntary Agreement Annual Report. And the high range  
17 was 361 million devices, which came from a 2013  
18 Fraunhofer Report.

19           The California IOUs indicated that market  
20 reports are available for purchase that includes  
21 projections of future shipments, along with current  
22 stock information.

23           Several of those that were cited were S&P Global  
24 Market Intelligence, Grandview Research, and IHS Market.

25           The voluntary agreement annual reports do not

1 have data on the specifics of how installed stock is  
2 changing or if older set-top boxes are being permanently  
3 retired. This is somewhat similar to the comments that  
4 Noah Horowitz just made.

5 We'll take any comments on installed base  
6 characteristics.

7 Bijit?

8 MR. KUNDU: Bijit Kundu, Energy Solutions, on  
9 behalf of the California IOUs. In terms of installed  
10 stock, we understand the voluntary agreement does not  
11 address existing installed stock. So, based on the  
12 discussion earlier, the CASE Team will be providing CEC  
13 with additional information based on the PG&E Codes and  
14 Standards Field Study to at least give some idea of what  
15 the installed stock is within the PG&E territory.

16 MR. SAXTON: Great, thank you.

17 Have we got an online comment?

18 MR. BAEZ: Noah, we see that your hand is still  
19 raised. Do you have another comment?

20 MR. HOROWITZ: I don't and I put my hand down.  
21 Thank you.

22 MR. SAXTON: The Commission requested  
23 information on product development trends for set-top  
24 boxes. As noted earlier, there's fewer DVR and  
25 traditional set-top box installations occurring.

1 There's been an increase in thin clients and internet  
2 protocol televisions, or IP TVs. There's also been an  
3 increase in over-the-top content viewing without a set-  
4 top box.

5 There's been some level of improvement in light  
6 sleep and auto power down for certain devices. There  
7 has definitely been an increase in whole home solutions  
8 and Cloud-based recording, as well. There's also been  
9 some movement on next generation power management.

10 The 2015 Voluntary Agreement Annual Report  
11 estimated that 32 and a half million cable set-top boxes  
12 now have light sleep capability, with many of these  
13 having received over-the-air updates to effect these  
14 changes.

15 We'll take any comments on product development  
16 trends.

17 And then, we will take any general comments on  
18 topics that we did not cover.

19 (Pause)

20 MR. SAXTON: We've got no one in the room, no  
21 one online. Oh, Noah.

22 MR. HOROWITZ: Yes, this is Noah Horowitz from  
23 NRDC. But are there any industry participants that want  
24 to speak, I'll allow them to go first and I can follow,  
25 if that's helpful.

1           MR. SAXTON: I don't think we see any hands  
2 raised online, Noah, and we don't have anyone in the  
3 room waiting to make a comment. Go ahead.

4           MR. HOROWITZ: I guess I'm good, then, at this  
5 point. Thanks.

6           MR. SAXTON: Okay, thank you.

7           So, following today's workshop the Energy  
8 Commission requests proposals for efficiency standards  
9 or measures. Or, in the case of set-top boxes, a  
10 roadmap.

11           The proposal template and guidance is actually  
12 online now. There will be a webinar on August 1st and  
13 that might be a good time to discuss the differences in  
14 proposals between products that are being examined for  
15 efficiency standards versus products that are being  
16 examined for a roadmap.

17           Commission staff remains available to discuss  
18 questions and concerns at any time during the  
19 proceeding.

20           We do remain at a very early step in the process  
21 and there will be multiple additional opportunities for  
22 public comment.

23           And my contact information is on the screen, and  
24 the docket at 17-AAER-11 is also open for comment -- to  
25 receive comments.

1           Okay, thank you.

2           MR. NELSON: Thank you, Pat. We'll take a 5-  
3 minute break and we'll come back and start our last  
4 topic of the afternoon.

5           (Off the record at 1:34 p.m.)

6           (On the record at 1:44 p.m.)

7           MR. NELSON: Welcome back, everybody. Just to  
8 reiterate, we will take comments. There will be breaks  
9 in the presentation to take comments and open it up for  
10 discussion.

11           To make a comment in the room, please address a  
12 microphone. Some are always on, with the light  
13 illuminated, some are not. So, if it's not lit up,  
14 please press the button.

15           Online, use the hand function and we will call  
16 your name. Please state your name and your organization  
17 for the court reporter. And if that does not work, you  
18 can use the chat box.

19           Okay, I'll hand it over to Pat.

20           MR. SAXTON: Hello, I'm Pat Saxton. I'm an  
21 Engineer in the Appliances Outreach and Education  
22 Office. Just in case anyone's not tired of my voice,  
23 yet, I will be presenting on the general service lamps  
24 expanded scope item.

25           Today we'll cover the purpose of the proceeding,

1 respondents to the invitation to participate, the  
2 information requested by the Energy Commission, the  
3 responses that were received, and the information  
4 contained within them. We'll have a period for general  
5 comments and we will cover next steps.

6           The Energy Commission's gathering information  
7 for Phase II products for Appliance Efficiency  
8 regulations. The invitation to participate is an  
9 opportunity for stakeholders to provide information and  
10 data that will help shape Commission policy regarding  
11 these Phase II appliances.

12           The ITP requested information and data on the  
13 following product categories; commercial and industry  
14 fans and blowers, general service lamps expanded scope,  
15 spray sprinkler bodies, tub spout diverters, irrigation  
16 controllers, set-top boxes, low power modes, and power  
17 factor, solar inverters.

18           During this portion of the workshop we will  
19 discuss the information and data submitted for general  
20 service lamps expanded scope.

21           The Commission received ITP responses from the  
22 following; the Alliance to Save Energy, the American  
23 Council for an Energy Efficient Economy, the Appliance  
24 Standards Awareness Project, the California Investor-  
25 Owned Utilities, Consumer Federation of America,

1 LEDVANCE, the National Electrical Manufacturers  
2 Association, the Natural Resource Defense Council, the  
3 Northeast Energy Efficiency Partnerships, the Northwest  
4 Energy Efficiency Alliance, the Sacramento Municipal  
5 Utility District.

6           The categories that the Energy Commission  
7 requested information for were product definition and  
8 scope, market characteristics, and installed base  
9 characteristics.

10           Regarding product definition and scope, many  
11 comments, most comments expressed support for adopting  
12 the definitions from the two final rules from the  
13 Department of Energy, U.S. Department of Energy, I  
14 should say, as published in the *Federal Register* on  
15 January 19th, 2017.

16           The reasons cited for that support were that  
17 they increased energy and cost savings, and closed  
18 loopholes.

19           Two industry comments did not support the  
20 expanded scope. Several comments recommended a further  
21 expansion of scope by reducing the lower lumen output of  
22 the products that were proposed to be covered to better  
23 align with State-regulated, LED lamp regulations. This  
24 is specifically 150 lumens for candelabra-based lamps  
25 and 200 lumens for State-regulated LEDs. Whereas the

1 DOE final rules use 310 lumens.

2           Several commenters noted that the DOE final  
3 rules include additional product definitions, such as  
4 those for black light lamp, colored lamp, and appliance  
5 lamp that must be considered simultaneously. We'll note  
6 that the Energy Commission agrees with this comment.

7           Two industry organizations commented that the  
8 topic should be delayed until the U.S. DEO acts on  
9 NEMA's request to complete a general service lamp  
10 rulemaking.

11           Additionally, NEMA has or had petitioned for a  
12 judicial review of the two DOE final rules. NEMA and  
13 DOE agreed to an out-of-court settlement on July 7th,  
14 2017. And this will likely result in DOE opening  
15 rulemakings that do affect this topic.

16           Industry comments further opined that  
17 California's regulations for LED lamps, small diameter  
18 directional lamps, and the 45-lumen-per-watt backstop  
19 for general services lamps, in their opinion are not  
20 effective beginning January 1, 2018 because of  
21 preemption.

22           However, the Energy Commission notes that a  
23 regulatory advisory for lamps was published on March  
24 30th, 2017, confirming that three California regulations  
25 on lamps will be effective for lamps manufactured on or

1 after January 1, 2018. And that advisory is available  
2 at the web link.

3 Several commenters recommended an effective date  
4 for an expanded scope to be as early as possible in  
5 order to achieve incremental benefits prior to the  
6 January 1, 2020 effective date.

7 Several commenters cited the Lawrence Berkeley  
8 National Lab's analysis of the national impact from the  
9 updated general service lamp definitions for savings  
10 estimates.

11 That LBNL report is in the docket for this  
12 proceeding, if anyone needs access to it.

13 Some commenters suggested weighting the national  
14 impact by population or housing units to estimate the  
15 California impact.

16 If you apply the housing units estimate to the  
17 LBNL national estimate, the California savings would be  
18 approximately 2.8 quadrillion Btus, with a net present  
19 value in the range of 12 and a half to 22.9 billion  
20 dollars.

21 A quad saving estimate is not used by the Energy  
22 Commission very often, so I will note that that is for  
23 the full fuel cycle, not just the end use.

24 We will pause for comments on definition and  
25 scope.

1 (Pause)

2 MR. SAXTON: Carlos, do we have anyone online?

3 Okay.

4 The Commission did request market characteristic  
5 data. Multiple commenters cited the NEMA Lamp Indices  
6 as a data source for market trends.

7 Commenters cited the broad availability of LED  
8 versions of lamp types that would be covered under an  
9 expanded scope.

10 I'll note that the Commission remains interested  
11 in the availability of LED lamps that would also meet  
12 California regulations, which become effective on  
13 January 1, 2018.

14 Multiple commenters noted the significant  
15 decline in LED prices over the last several years. The  
16 Investor-Owned Utilities, specifically, submitted data  
17 for the time period of December 2013 to April 2016.  
18 That includes 1,600 unique price points per month from  
19 nine online retailers. And it showed that lamps with 80  
20 to 90 lumens-per-watt efficacy had the lowest prices.

21 We'll take any comments on market  
22 characteristics.

23 (Pause)

24 The Commission requested information on  
25 installed base characteristics of lamps that would be

1 covered by an expanded scope.

2           Again, commenters recommended use of the LBNL  
3 analysis in order to determine estimates of the  
4 California existing stock. They also cited this report  
5 as having estimates of the average daily hours of lamp  
6 use by type.

7           That LBNL analysis estimated that the -- they  
8 used the phrase, "non-ISA explicit lamp types" to  
9 indicate products that would be covered by the expanded  
10 scope. And that they have a nationwide installed stock  
11 at least 80 percent as large as the stock of ISA  
12 explicit lamps.

13           Again, commenters suggested weighting these  
14 national stock estimates by either population or housing  
15 units to estimate the California stock.

16           And for hours of lamp use for residential, they  
17 ranged from 1.7 to 2.9 hours of use, depending on lamp  
18 shape which was used for a proxy of the room that the  
19 lamp was installed in.

20           And for commercial, they estimated usage of 10.7  
21 hours per day.

22           And we'll take any comments on installed base  
23 characteristics.

24           (Pause)

25           And then, we will take any general comments on

1 topics that were not raised specifically.

2 MR. BAEZ: Online, we have a hand raised from  
3 Noah Horowitz. Do you have a comment, Noah?

4 MR. HOROWITZ: Yes. This is Noah Horowitz, with  
5 the Natural Resources Defense Council.

6 We want to reiterate our support and the  
7 importance of the Energy Commission adopting the federal  
8 definition for general service lamps as defined in the  
9 *Federal Register*, in January of 2017.

10 We think this is needed in order to close  
11 loopholes that could significantly erode the savings in  
12 categories such as three-way bulbs, and shadow-resistant  
13 bulbs, where an inefficient bulb could really grow in  
14 sales and erode a lot of the savings.

15 And the new definition would also bring in  
16 reflector lamps greater than two and a half inches that  
17 would deliver significant incremental savings to the  
18 State, and its consumers.

19 So, in summary, we encourage the CEC to move  
20 forward with this docket and with its regulations that  
21 go into effect on 1/1/2018. Thank you.

22 MR. SAXTON: Thanks, Noah.

23 Any other comments in the room or online?

24 MR. BAEZ: Online, Alex Boesenberg has his hand  
25 raised. Go ahead and comment, Alex.

1           MR. BOESENBERG: Thank you. I want to thank the  
2 Commission for the opportunity to comment. Of course,  
3 NEMA has already submitted written comments, previously,  
4 which were cited in the presentation.

5           But once again, we wish to express that we  
6 believe that the inclusion of the definition of a  
7 general service lamp, such as defined on January 19th,  
8 2017, is actually already accomplished by virtue of the  
9 existing definitions in Title 20.

10           We note that Title 20, Section 1602(k) already  
11 contains a definition of a federally-regulated general  
12 service lamp that mirrors the Congressional definition  
13 in 42 U.S. Code 6291(30).

14           In the Regulatory Advisory, from the Commission  
15 on March 30th, 2017, the Commission states that the yet-  
16 to-be-determined definition of a State-regulated general  
17 service lamp is identical with the federal definition.

18           And those both contain the text, "Any other  
19 lamps that the Secretary determines are used to satisfy  
20 lighting applications traditionally served by general  
21 service incandescent lamps."

22           But in that January 19th rule, from the  
23 Department of Energy, the Secretary published  
24 determinations that a number of other lamps are used to  
25 satisfy lighting applications traditionally served by

1 general service incandescent lamps.

2           So, at this time, those lamps are already part  
3 of the federal definition, general service lamps. And  
4 by virtue of that, the State's definition of federally-  
5 regulated general service lamps and there is no further  
6 action necessary by the Commission.

7           We maintain our view that there are no State-  
8 regulated general service lamps, there are only  
9 federally-regulated general service lamps and there is  
10 no need for a definition of State-regulated general  
11 service lamps.

12           And again, we refer anyone interested to our  
13 comments on the record. Thank you.

14           MR. SAXTON: Thank you, Alex.

15           MR. BAEZ: All right, another commenter online,  
16 Chris Granda. Go ahead, Chris.

17           MR. SAXTON: Chris, if you're trying to speak,  
18 we're not able to hear you.

19           MR. BAEZ: All right, one more online, Richard  
20 Greenberg. Go ahead, Richard.

21           MR. GREENBERG: Hi, this is Richard and my  
22 question pertains to not just what Alex just mentioned,  
23 which was very informative, but to the time it will take  
24 to make a final determination on this topic. Because if  
25 it turns out to be that excluded lamps in the previous

1 definition are still fair game in the market. For  
2 example if on January 1st, 2018 the R-30s of the halogen  
3 variety are available on the shelves, then they could  
4 serve as a viable baseline for particular LED products,  
5 rather than an assumption that they're not replacing  
6 halogens at all in the baseline.

7           So, I'm interested in seeing the DOE standards  
8 adopted, but I'm also interested in making use of any  
9 viable energy savings for claims for the utilities,  
10 until that comes into effect.

11           MR. SAXTON: Okay, thanks for that comment,  
12 Richard. I agree, there is a lot of overlapping pieces  
13 and they're all in movement at the same time. It would  
14 be good to have data and information to clarify any of  
15 those positions.

16           Do you want to try Chris, again?

17           MR. BAEZ: Hi, Chris, go ahead. We'll try one  
18 more time. You're unmuted, if you have another comment.

19           MR. SAXTON: Chris, we could also pause for a  
20 second if you want to type something in the chat box,  
21 quickly. Okay.

22           So, following this workshop the Energy  
23 Commission has requested proposals for efficiency  
24 standards or measures. Those proposals are due  
25 September 1st.

1           There will be a webinar to discuss the template  
2 for those proposals on August 1st. And the template and  
3 guidance are actually online, now.

4           Commission staff remains available to discuss  
5 questions and concerns at any time during this  
6 proceeding.

7           This is just a reminder that we're very early in  
8 the process for Phase II appliances. There will be  
9 multiple opportunities for additional public comment and  
10 input.

11           My contact information is on this slide, and  
12 also Docket 17-AAER-07 is open to receive comments.

13           Yes, we have one more question or comment in the  
14 room.

15           MR. SERRES: Yeah, Anthony Serres, Philips  
16 Lighting. Just to understand, I had the impression that  
17 this was about expanding the scope to include like what  
18 the DOE was doing.

19           But when I hear about what you're looking for on  
20 September 1st, you're actually looking for possible  
21 standards for other lamp types, or something?

22           I thought this was just about expanding the  
23 scope. So, can you clarify what exactly is being sought  
24 for September 1st?

25           MR. SAXTON: Sure. So, that is the Energy

1 Commission's initial proposal would be to match the  
2 federal rules from January 1, 2017. I guess this is the  
3 opportunity for stakeholders to submit alternatives.

4 MR. SERRES: Okay. That's clear. Thank you.

5 MR. SAXTON: You're welcome.

6 We also do have Chris Granda, from the Appliance  
7 Standards Awareness Project was able to submit something  
8 to the chat box. "The Appliance Standards Awareness  
9 Project supports the position that the Energy Commission  
10 should adopt the definition for GSLs contained in the  
11 final rules issued by DOE in January of 2017. This  
12 revised definition significantly increased the savings  
13 expected from the Federal GSL Standard, and will do the  
14 same for the California State GSL Standard."

15 That's for the comment, Chris, and apologies for  
16 the technical difficulties.

17 And we have one more online, as well.

18 MR. BAEZ: Richard Greenberg, we see that your  
19 hand's raised. Do ahead, Richard.

20 MR. GREENBERG: I'm sorry, my hand was not  
21 raised. I didn't click the hand to get it un-raised.  
22 So I don't have any more comments. There you go.

23 MR. SAXTON: Okay, thanks everyone. One last  
24 opportunity in case anyone else had anything they'd like  
25 to add. Then I guess that is it for the day. Thank

1 you, everyone, for your participation.

2 (Thereupon, the Workshop was adjourned at

3 2:05 p.m.)

4 --oOo--

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

**REPORTER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of August, 2017.



---

Eduwiges Lastra  
CER-915

**TRANSCRIBER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of August, 2017.



---

Barbara Little  
Certified Transcriber  
AAERT No. CET\*\*D-520