

DOCKETED

Docket Number:	17-BSTD-01
Project Title:	2019 Building Energy Efficiency Standards PreRulemaking
TN #:	220793
Document Title:	Transcript of 07/13/2017 Staff Workshop 2019 Nonresidential Energy Standards
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	8/16/2017 8:35:22 AM
Docketed Date:	8/16/2017

BEFORE THE
CALIFORNIA ENERGY COMMISSION

In the matter of,)
) Docket No. 17-BSTD-01
)
2019 Building Energy Efficiency)
Standards PreRulemaking)

STAFF WORKSHOP
2019 NONRESIDENTIAL ENERGY STANDARDS

CALIFORNIA ENERGY COMMISSION
FIRST FLOOR, ART ROSENFELD HEARING ROOM
1516 NINTH STREET
SACRAMENTO, CALIFORNIA
THURSDAY, JULY 13, 2017
1:00 P.M.

Reported By:
Gigi Lastra

APPEARANCES

CEC Staff Present

Payam Bozorgchami, Project Manager, 2019 Building Standards

Gabriel D. Taylor, Engineer

Mazi Shirakh, ZNE Technical Lead & Advisor to the 2019 Building Standard Staff

Peter Strait, Supervisor, Building Standards Development

Bill Pennington, Deputy Division Chief, Efficiency and Renewable Energy Division

RJ Wichert, WebEx Coordinator

Presenter

Rolf Bienert, Open ADR Alliance

Public Present

Jon McHugh, McHugh Energy Consultants, Inc.

Claire Warshaw (Phonetic)

Michael Jouaneh, Lutron Electronics

Heidi Hauenstein, CASE Team

Phillip Hall, Director of Lighting Control Systems, Enlighted

Glen Gall, Regional Supervisor, OSHPD Building Standards Unit

Arash Guity, Mazzetti, Mechanical Engineer, Chief Energy Engineer

Bill Zommer, Sutter Health

Scott Carpenter, Mechanical Engineer, former Hospital Building Safety Board Member

APPEARANCES (CONT.)

Mark Alatorre, Heating, Ventilation and Air Conditioning
Expert

David Baker, Prime Healthcare

Kelly Cunningham, PG&E

Louise Belair, TK1SC, Hospital Building Safety Board
Member

Eric Jacobsen, Senior Architect, OSHPD, Building
Standards Unit

INDEX

	Page
Welcome - Payam Bozorgchami	5
Introduction to the 2019 Standards Update - Payam Bozorgchami	5
Demand Response Cleanup - Gabriel D. Taylor	10
OpenADR Review - Rolf Bienert, Open ADR Alliance	24
Public Comments and Questions	37
Demand Response Cleanup - Gabriel D. Taylor	62
Public Comments and Questions	68
Lunch	
Licensed Healthcare Facilities - Gabriel Taylor	87
Public Comments and Questions	122
Adjournment	139
Reporter's Certificate	140
Transcriber's Certificate	141

1

P R O C E E D I N G S

1
2 JULY 13, 2017

1:00 P.M.

3 MR. BOZORGCHAMI: Good morning. My name is
4 Payam Bozorgchami. I'm the Project Manager for the 2019
5 Building Energy Efficiency Standards development.

6 Before we start there are some housekeeping
7 rules. Restrooms are located out the double doors here,
8 at the Energy Commission, this room to your left. The
9 snack bar is on the second floor.

10 And in case of an emergency, if the fire alarm
11 goes, please let's meet at the Roosevelt Park, kiddy-
12 corner from us. And we'll reconvene there and make sure
13 everyone's out there safely.

14 What we will be covering today? This morning
15 we'll be doing -- Gabriel Taylor, from our office, will
16 be presenting on the demand response presentations, the
17 cleanups.

18 We'll have Rolf Bienert. I apologize for the
19 last name pronunciation. Try to pronounce my last name.
20 He's the Technical Director with the OpenADR Alliance
21 and he will be giving us some input on what DR is.

22 And then in the afternoon, at 1:00, we'll
23 reconvene after lunch and we will have discussion on the
24 healthcare facilities and licensing.

25 So with that, how did the Energy Commission

1 start? The Energy Commission started in the 1970s by
2 two legislators. Warren Alquist that developed what we
3 call the Warren-Alquist Act, under Governor Ronald
4 Regan. And under Governor Jerry Brown it became funded
5 and the start of the Energy Commission began.

6 We have some policy drivers of what we're doing
7 for the Building Standards and what we do has to be
8 energy efficient, provide clean energy job plans. The
9 California Air Resources Board has a requirement that we
10 have to follow to meet the climate change scoping plans.

11 Other measures or other areas of the Energy
12 Commission's responsibilities, we have to permit power
13 plants greater than 50 megawatts, look at
14 transportation, develop alternative fuel methods of
15 transportation, and other areas.

16 The Energy Commission's policy for the Building
17 Standards is to try to avoid more power plants, provide
18 grid harmonization for transportation of electricity.
19 And what we do is our primary goal is energy efficiency
20 and demand response.

21 Energy Commission staff, with the help of its
22 utility partners, those being Pacific Gas & Electric,
23 Southern California Edison, SoCalGas, San Diego Gas &
24 Electric, Sacramento Municipal Utility District, the Los
25 Angeles Department of Water and Power, and Southern

1 California Power Authority work on developing the
2 standards every three years.

3 We provide workshops, like this, both at the
4 utility level and at the Energy Commission, to present
5 the proposals for the code changes.

6 A lot of communication is done between the
7 Energy Commission staff and the utilities' CASE Teams
8 and Authors, who develop these codes. And those could
9 not be happening without the help of Heidi Hauenstein
10 and Kelly Cunningham.

11 As you know, California's a little bit different
12 than other parts of the country. California has 16
13 climatic zones and when we develop an energy efficiency
14 measure we have to look at all 16 climatic zones to make
15 sure there's a benefit, there's an energy benefit and
16 there's a savings to the building owner.

17 So with that, we do a vigorous lifecycle cost
18 analysis based on where we look at the cost of fuel, the
19 cost of electricity and gas at every hour of the year,
20 and we go through a whole energy assessment on that for
21 the lifecycle cost methodology. And as long as the
22 benefit cost ratio is above one, it's showing a benefit.

23 The Zero Net Energy Standard, what we're doing
24 so far here at the State, we're showing a lot of energy
25 savings in the homes currently, with water heating,

1 space cooling, and heating. Notice the downward trend.

2 And we have this goal that we have to meet, this
3 thing called ZNE, zero net energy, by 2020 for
4 residential and by 2030 for nonresidential buildings.

5 And to do so, we have these codes. We have three more
6 code cycles for nonresidential and these are the
7 mandates that we have to meet.

8 Our prerulemaking schedule so far, these are the
9 workshops, the prerulemaking workshops that we've had
10 here at the Energy Commission.

11 And today, July 13th, we're going to be talking
12 about hospital measures and demand response.

13 And next week, on July 18th, we'll be looking at
14 residential HVAC measures and ATTs requirements.

15 On August 22nd, we will be looking at solar and
16 PV systems, the whole energy design rating methodology
17 for the residential measures.

18 And on August 13th, we're going to be talking
19 about the CalGreen Part 11 proposals.

20 All of the presentations and the CASE Reports
21 for these will be posted on the utility-sponsored
22 stakeholders' website. You'll see that that's the one
23 on top.

24 The hospital measure will be posted on our
25 website, and that's on the Building Energy Efficiency

1 website. And any comments for today's workshop could be
2 submitted to the link below, the third one. And we
3 would like to get those comments by July 28th, at the
4 close of business. And that gives us enough time to
5 work on getting the measures, looking at the comments,
6 and providing feedback for the standards.

7 We're looking into having another workshop later
8 on, in late September, early October, to look at the
9 express terms, prior to going to the 45-day language for
10 the development of the standards.

11 Here is some key contact information. Mazi
12 Shirakh, who will be leading the ZNE Technical, as an
13 advisor for the 2019 Building Energy Standards.

14 My information, Larry Froess, he's our Senior
15 Software Development Advisory, lead, Peter Strait, who's
16 our Supervisor for Building Energy Efficiency Standards.

17 Christopher Meyer is our Office Manager. And
18 Todd Ferris, he's the Supervisor of staff for the
19 Software Development Team.

20 This presentation and the rest of them that
21 you'll be hearing today will be posted on our website
22 later this afternoon. Or, excuse me, by tomorrow
23 morning.

24 Any questions? If not, I'm going to hand it off
25 to Gabe and he'll take over from here. Thank you.

1 MR. TAYLOR: Good morning everybody. My name is
2 Gabe Taylor, Gabriel Taylor. I am an engineer in the
3 Buildings Standards Office here at the Energy
4 Commission.

5 And I've been asked to essentially project
6 manage the portion of this Title 24 update cycle devoted
7 to demand response.

8 And as Payam introduced, also, Christopher
9 Meyer, he's the manager of the office for Building
10 Standards, he's here as well.

11 And there's a number of other staff that are
12 involved in this update cycle, but I'm the focus for the
13 demand response section so I'll be the only one speaking
14 today.

15 Before I get started, I wanted to acknowledge a
16 few people. First, like to acknowledge Commissioner
17 Arthur Rosenfeld and Commissioner Jaclyn Pfannenstiel.
18 When I started working on demand response issues almost
19 ten years ago, they were Commissioners and they were
20 very passionate about demand side management, demand
21 response, and the opportunities for efficiency on the
22 demand side of the equation.

23 And I think a lot of the progress that we've
24 made is due to their strong support. And although both
25 of them are no longer with us, their memory lives on in

1 the work that we do today. And I just wanted to thank
2 them.

3 In addition, I'd like to thank the Codes and
4 Standards Team for the excellent suggestions and the
5 report that they provided to the Energy Commission,
6 which is published on our website, as well. And it is a
7 high quality analysis and it contains a lot of excellent
8 suggestions. So, thank you very much for the CASE Team.

9 And, in particular, the authors of the report on
10 demand response, Heidi, Bijit and Kitty. Thank you very
11 much.

12 Also, we had some very quality discussions with
13 the California Efficiency Alliance. CEA is a new
14 organization. I'm delighted to see industry, and unions
15 and many other stakeholders spend time discussing their
16 differences, and where they agree, and provide quality
17 analysis and suggestions to the Energy Commission. It
18 makes the whole process better, and it makes the code
19 more reasonable and better in the process.

20 So, my goals for this presentation today are
21 primarily to educate you on the changes that the Energy
22 Commission is proposing in this code cycle. This is a
23 prerulemaking phase, so this is our call to you, the
24 stakeholders who are interested in demand response, to
25 provide your suggestions and comments on our proposals

1 before we get into the formal rulemaking process.

2 So, as Payam mentioned, by July 28th, I believe,
3 we'd like to see any comments you have in writing. But
4 even after that date we will enter into the formal
5 rulemaking process in a few months and there will be
6 more opportunities to comment. But we're counting you
7 to help us make this the best recommendations possible.

8 A large portion of the suggested changes to the
9 code, in this cycle, for demand response is that we are
10 suggesting that OpenADR be used as a standard protocol
11 for demand response communications, external
12 communications.

13 Because of that I'm going to devote a section of
14 my time this morning to a briefing on both the history
15 of OpenADR and what exactly OpenADR is.

16 And then, finally, I'll close my presentation
17 today with a review of the schedule, just to remind
18 everybody of the important dates for this code cycle.

19 On that topic of schedule, I also want to take a
20 moment to say that this is the 2019 code cycle. And the
21 Title 24 code change cycle is a three-year series of
22 cycles. I like to think of it as like a subway station.
23 We have a subway car pulling in. This is the 2019
24 subway car. We're loading it up with a bunch of ideas
25 and suggestions, and then that's going to pull out and

1 make room for the 2024 car.

2 So, any ideas that you have that don't make it
3 into this code cycle that's okay, keep them, bring them
4 to our attention and we'll just push that into the next
5 car, or the one after that.

6 This is an iterative process. Our goal here is
7 to make the Building Standards, Energy Efficiency Code
8 as effective as possible in saving energy for the people
9 of the State of California.

10 So, first what is demand response?
11 Fundamentally, demand response is the shift or shed of
12 energy in response to changing conditions, such as
13 price, or over-generation from on-site resources, or
14 possibly from some sort of emergency.

15 This is a concept that was part of the
16 Warren/Alquist Act that created the Energy Commission
17 back in the early 1970s, in response to the energy
18 crisis in the early 1970s. And the original language in
19 the Warren-Alquist Act required the Energy Commission to
20 implement a number of different standards in order to
21 manage the demand side of the equation.

22 Back then, the technology available was pretty
23 crude. You would have a utility manager who would call
24 a manufacturer and say, we need you to reduce your
25 demand, and they would do so, if they chose to. And,

1 potentially, they'd be paid for it. But the opportunity
2 for true demand response was just in its infancy.

3 We have, obviously, advanced a lot today. We
4 have numerous additional tools. And the real goal here
5 is cost-effective actions. What is cost effective?
6 That's part of the Building Standards Code. And the
7 point here is to put in standards that are focused on
8 the owner or operator, that gives the owner/operator the
9 information and lets them response to motivation
10 provided by the utility or other party, and then the
11 tools so that they can make demand responsive actions at
12 a minimum cost. The transaction cost is the time or the
13 money required in order to make this response. And if
14 we can minimize that transaction cost by providing
15 integrated tools into the built environment that provide
16 the opportunity to institute cost-effective actions,
17 that's an advantage to the owner or operator of that
18 building. So, that's really the goal of this section of
19 the code.

20 So, the proposed changes can be broken into two
21 major sections. We have a lot of cleanup. Primarily,
22 we're harmonizing with ASHRAE 90.1. There's a number of
23 sections where the definitions, particularly in the
24 definition section there's a little bit of a disconnect
25 between ASHRAE 90.1, and we're just bringing those into

1 alignment. These proposed cleanup changes shouldn't
2 change any significant section of the requirements.

3 And then the other section that changes are
4 actual code changes that will either appear to or
5 actually change the requirements.

6 The first of those is the consolidation. We're
7 proposing to pull all of the disparate demand response
8 language from many different sections of the Title 24,
9 Part 6 code, into one section, one new section. This
10 will make it easy for those, who are familiar with our
11 code, to find all of the demand response requirements.

12 It looks like a fairly significant change, so
13 I've listed it under the code change section, but in
14 practice that consolidation should not significantly
15 alter the requirements that you're presented with.

16 And then the final change that we're proposing
17 is to specify the OpenADR protocol, as I mentioned.

18 So, first I'm going to focus on the cleanup and
19 give you a brief overview of how those cleanup changes
20 will be implemented and the specifics of those cleanup
21 changes.

22 In Section 110.2 there are definitions for
23 thermostatic controls and we are harmonizing those
24 ASHRAE. We're deleting the reference to "setback
25 thermostats." Those were giving the impression of a

1 requirement to setback, whereas the goal here is to
2 provide the owner or operator of the built environment
3 the ability to control the thermostat in response to a
4 signal, when they choose to.

5 This is a cleanup requirement. This will not
6 change any of the requirements. It's simply changing
7 the language subtly so that it is consistent with ASHRAE
8 and remove some confusion.

9 The solar ready section of Section 110.10, again
10 we're going to clarify the thermostat requirements. The
11 language "thermostatic controls," specifically. And
12 also clarify the reference to "energy management control
13 systems," EMS.

14 We're consolidating a number of different terms
15 within the code that essentially referred to an energy
16 management control system. And so, we're eliminating a
17 lot of those disparate terms and simply pointing them
18 all to the term "energy management control system" in
19 the building.

20 We're also going to delete the term "home
21 automation system." This is essentially an energy
22 management control system in the residential
23 environment. It was not defined previously and so that
24 section of the code will simply point to EMCS, rather
25 than to home automation.

1 Again, this is a cleanup. We do not think this
2 will change any of the requirements in the code. If you
3 disagree with the language that we're proposing, please
4 let us know.

5 In the additions and alterations section,
6 Section 141, we're also going to clarify the thermostat
7 requirements. This is repeated throughout the code.
8 We're changing the definition to be consistent with
9 ASHRAE. And so, in a number of places in the code where
10 it refers back to that definition, we need to clean that
11 language up to make sure it's consistent. Again,
12 cleanup, no significant change.

13 Similarly, in Section 150.0(i), we're going to
14 change -- delete the word "setback", proposing to delete
15 the word "setback" and change the thermostat
16 requirements. So, it's a reference to thermostatic
17 controls, rather than the thermostat.

18 There was some confusion about whether or not
19 the requirement was for a separate device that
20 controlled the temperature in the space. The
21 requirement is simply for the ability to control that
22 temperature.

23 The code, and this is a repeated theme and I
24 mentioned this earlier, owner/operator-centric. The
25 goal of the code is to make sure that once the building

1 is built the owner and operator have the ability to take
2 the actions that they choose to take, or need to take.

3 Many devices, as a slight tangent, many devices,
4 as most of you know, are much more expensive to add
5 after the building is built than they are to add at the
6 time of construction, or the time of a major addition or
7 alteration. And so, the code focuses on giving the
8 owner or operator that ability to engage in that type of
9 behavior that they choose to engage in, at the minimum
10 cost.

11 And then, finally, Joint Appendix 5 is a whole
12 section dedicated to occupant-controlled smart
13 thermostats. There's been a lot of confusion on this
14 section. We're looking at a fairly significant rewrite
15 of this section. There's not an intent to change the
16 requirements, simply to clarify what the intent is.

17 The section, as we have it marked up, has a lot
18 of changes and so we're counting on you to read it very
19 closely.

20 There is one change in that section, which I'll
21 go into the next, when I talk about the actual code
22 changes, and that is the OpenADR, which I've mentioned a
23 number of times. That will appear in the Joint Appendix
24 5.

25 Okay. So, now onto the proposed changes. This

1 is probably what you're more interested in. Although, I
2 do hope that all of the stakeholders will spend some
3 time reading through our proposed cleanup language to
4 ensure that we are not engaging in any unintended
5 consequences.

6 In the code change section we have three primary
7 sections here, as I mentioned before. I'll go through
8 those in a little more detail, now.

9 In the definitions section there are a few
10 definitions that we're correcting. The automatic
11 control system, energy management control system, these
12 are two definitions that we want to clarify.

13 Automatic control system is a general definition
14 intended to clarify the difference between the control
15 of taking an action without manual interventions and a
16 control that requires manual intervention.

17 So, we wanted to be clear that when we say that,
18 say a light needs a control that is automatic that can
19 be engaged -- they may communicate with the energy
20 management control system. We want to differentiate
21 very clearly between that and a simple switch.

22 As I mentioned earlier, we're consolidating
23 various redundant terms in code that generally refer to
24 a system that can be classified as an energy management
25 control system. So, we are hoping that we can

1 consolidate all of those general terms into one term,
2 energy management control system in a building space.

3 As you all know, there are many different types
4 of systems that can behave as an energy management
5 control system. Some are in the Cloud, or have parts in
6 the Cloud. Some are on site, hardware on site. So,
7 there's a lot of variations there. And we're trying to
8 make the code specific enough that we can achieve the
9 goal of giving the building operator the ability to
10 control their energy, but general enough that we're not
11 confining the requirement to a specific type of device.

12 Now, we're also adding definitions in Section
13 100.1 for OpenADR 2.0a and 2.0b.

14 And we're similarly adding a definition for the
15 Virtual End Note, which is a term used in OpenADR and
16 defines the specific needs for what will be part of the
17 building at permitting.

18 And, finally, as I alluded to a number of places
19 previously, we're changing the definition of thermostat
20 and thermostatic controls to harmonize with ASHRAE. So,
21 that's a change in the definition section.

22 The rest of the changes that I mentioned earlier
23 are simply to align with that change in definition.
24 They do not change the intent or the requirements, they
25 simply point to the new definition.

1 And to be consistent with ASHRAE there are two
2 definitions. At first, it's a little confusing. But
3 there's a thermostat, which is an individual device, as
4 I mentioned, and a thermostatic control which is a group
5 of devices or part of a larger device, like an energy
6 management control system.

7 The consolidation is another major code change
8 that we're proposing this cycle. All nonresidential DR
9 requirements. It's also the most obvious change. When
10 you see our markup language there's going to be a lot of
11 redline and strikeout, but a majority of that is this
12 proposed consolidation.

13 The new section will be likely in Section 110,
14 numbered sequentially at the end of Section 110. As a
15 part of this consolidation, we'll take the opportunity
16 to review all of the language and to make
17 clarifications, and simplification changes wherever
18 possible. So, our goal is to make this as easy to
19 understand and clarify a few issues that have been
20 proven confusing over the past code cycle. We've
21 received a lot of questions about them.

22 So, this is actually a fairly large chunk of
23 code that we're going to be consolidating here. All of
24 these sections, listed on the screen here, so Sections
25 120, 130, 130.1, and 120.2, et cetera, these all contain

1 demand response code.

2 Over the past decade or more this language has
3 been put into each of these sections as the technology
4 has become available. Frequently, that has been written
5 by different analysts, proposed by different groups.
6 You know, the lighting industry, the HVAC industry, and
7 whatnot, so there has been a bit of divergence in the
8 specifics of the language used in each of these
9 sections. Sometimes a difference in the terms for the
10 same, for example the energy management control system,
11 different terms used for the same, essential device.

12 So, the effort here is to collect all of these
13 disparate demand response sections, make sure that the
14 definitions are consistent, make sure that the
15 requirements are consistent and there's not subtle
16 differences between them, and then put them in the one
17 section.

18 So, that brings us to OpenADR. The proposal is
19 to reference OpenADR 2.0a and 2.0b as the external
20 communications protocol for all demand responsive
21 activities in the built environment.

22 I think this is a huge success story. The
23 Energy Commission, at the end of the energy crisis back
24 in 2000, 2001, in 2002 we funded a research project for
25 looking into protocol, and open source protocol to

1 enable demand responsive behavior.

2 We worked with the -- the Lawrence Berkeley
3 National Labs won the award, and the Demand Response
4 Research Center did a large amount of the initial work
5 on this and continued for a long time. They brought in
6 many different organizations, both Californian,
7 national, international standards organizations, the
8 utilities. There was a huge number of entities working
9 on this project over the ensuing time.

10 Between 2003 and 2006 there were a number of
11 field trials and pilots using the early iterations of
12 this protocol, and early designs of the hardware.

13 By 2009, the Energy Commission adopted OpenADR
14 1.0. This was an Energy Commission publication, based
15 on Energy Commission-funded research, and based on our
16 identification of a need for this type of protocol.

17 By 2011, the OpenADR Alliance took over
18 management of this protocol and published OpenADR 2.0a
19 and then 2.0b in 2014.

20 I'd like to at this time -- so, this is a
21 success story. The Energy Commission saw a need, funded
22 the research to meet that need, and now we're able to
23 propose a proven and tested solution for inclusion in
24 the code. So, I'm really excited about this.

25 I'd like to introduce, at this time, the OpenADR

1 Technical Director, Rolf Bienert, to provide a briefing
2 on OpenADR. I think he's much more able to provide the
3 detailed technical understanding of this code.

4 MR. BIENERT: Perfect, excellent. Thank you,
5 Gabriel. I'm honored to be here today. Thanks for
6 inviting me over to give you this overview here.
7 Gabriel already outlined what happened over the years in
8 OpenADR. I'll fill in some of the gaps a little bit and
9 then tell you what OpenADR really means and what it is.

10 But first of all, a real quick look at what the
11 OpenADR Alliance actually is. So, we are not a product
12 company. So, we are not making OpenADR products. We
13 would not sell them to you or anything like that.

14 We are a nonprofit membership organization. So,
15 all of our revenue comes from our over 130 member
16 companies, which are manufacturers from Honeywell to now
17 EV companies, and so on. So, all these manufacturers
18 that make home controls, thermostats, things like that,
19 are members of the Alliance. And that's how the
20 Alliance is, in California, a nonprofit organization is
21 funded.

22 Our vision is to really facilitate the cost-
23 effective deployment of OpenADR technologies. And that
24 means that we want to make them interoperable. So, if
25 you buy a product from one vendor it will work with a

1 different vendor, as well. If you later have to replace
2 products or if you replace, for instance, the head end,
3 the server, VTN as we call it, the Virtual Top Note,
4 there should be no interruption of service except, of
5 course, new commissioning that needs to be done.

6 Otherwise these devices are interoperable from a
7 protocol perspective and we test for that.

8 We leverage, also, a number of other smart grid
9 related standards from different organizations that you
10 may or may not know. There's a lot of efforts going on,
11 of course, in the internet space, in the Oasis Group,
12 which is also an internet services group building
13 exchange models for computers, and for other machine-to-
14 machine communication. And, of course, other groups
15 like NAESB, and FERC, and so on.

16 We also have a testing and certification
17 program. So, we support really the development of the
18 technology there. We certify the devices. If you go to
19 our website, openadr.org, there's a tab for products
20 where you will find all the certified products, what
21 they are certified for. There's, I think, probably
22 about 140 now. I should know since I certified them
23 all, but I lose track sometimes.

24 So, these are certified systems. Sometimes
25 there are iterations to them or, if they are cloud-

1 based, then there may be a lot of different versions.
2 So, sometimes you have to dig in a little bit to see if
3 a product is certified.

4 So, what is OpenADR, really? Well, it is, first
5 of all, a standard that provides nonproprietary and open
6 interfaces. The idea is that you have web services.
7 Imagine it similar to a web browser. You have your
8 computer, you log on to website. So, basically, you
9 type www dot, and I'll say Google.com, and your computer
10 pulls that information from that web address.

11 A very, very similar service here. The machine-
12 to-machine communication uses the internet or through
13 any kind of link, like broadband, like Wi-Fi, like
14 existing modems or, of course, you could use cellular,
15 or any internet connection that you can establish to
16 pull the information from the utility server or whoever
17 operates the demand response program. Very straight
18 forward.

19 It contains messages to communicate what needs
20 to be done, but not how to do it. That's one of the
21 biggest differences in OpenADR. One of the very initial
22 thoughts that the Energy Commission, Lawrence Berkeley
23 National Labs, and those very first companies had that
24 we don't want to force anything down the throat of the
25 participants.

1 Not like some other technologies that virtually
2 switch on or off a device, OpenADR does not do that. We
3 send information elements that can be used for the local
4 system to make a decision on how to fulfill the needs.
5 So, for instance, there could be a price, and there
6 could be a request for energy savings, but then your
7 system would be reconfigured to do specific things that
8 are applicable for your building, for your facility, for
9 your office building, whatever it is.

10 And you can, of course, also opt out of these
11 events if they are not convenient for you.

12 It provides secure message exchanges, as well.
13 We use standard internet communication security. A very
14 high level of this with security certificates on both
15 sides. And at this point all of the California electric
16 IOUs are using OpenADR for their programs.

17 So, this is the timeline. Again, I think
18 Gabriel had a few of these milestones already on there
19 earlier. So, after this initial development that
20 Gabriel mentioned, and we had OpenADR 1.0, that was when
21 a lot of the new smart grid requirements came into play,
22 like between 2008 and 2010.

23 So, a lot of the different smart grid groups,
24 for instance the NIST Smart Grid Interoperability Panel,
25 added additional requirements that they wanted to

1 fulfill and essentially extended the scope of OpenADR
2 beyond California to make it a standard that is now
3 used, in fact, globally. It's used in Japan, and Korea,
4 some European countries. And it's being promoted right
5 now through the International Electrotechnical
6 Committee, the IEC, as an IEC standard as well. So,
7 it's a fairly open spec and it can be obtained through
8 all of these resources.

9 By the way, if there's a product manufacturer
10 listening in, or here in the room, you can always go to
11 the website, go to resources, and you find the
12 specification to download if you want to look at it.
13 There are also open source platforms, and so on, that
14 can be used.

15 Let's get this all up here, yeah. So, as I
16 said, OpenADR has now been internationally recognized.
17 And there can be different types of messages that are
18 being exchanged.

19 Here on this picture you see a very simple
20 pathway for OpenADR. On the left-hand side you see,
21 again, the VTN, Virtual Top Node or, simply speaking,
22 the server, whoever controls the demand response
23 resources. That sits either at the utility, in the case
24 of California that's mostly the case. Or, of course, at
25 any kind of other DR program operator.

1 And then, on the right-hand side you have that
2 VEN, this Virtual End Note, that Gabriel also mentioned,
3 or whatever, it's in the rule making here, which is the
4 client device. We like to call them virtual because you
5 shouldn't picture them as a fixed PC, like an actual
6 server, or a PC as the client. Not like when you browse
7 your website, right?

8 It could be in the Cloud environment. There
9 could be Cloud clients that control their thermostats,
10 for instance. It could be in a little box, a little
11 gateway box that sits right under your desk, just like
12 your router and your other modems. Or, of course, it
13 could be built in a building management system already.

14 So, a lot of commercial building management
15 systems are starting to have OpenADR interfaces built in
16 natively. It's just another port for them, basically.
17 They use the same internet connection that they would
18 already use for their control systems and they can just
19 also understand OpenADR through that interface.

20 So, typically, the event has, of course, day,
21 hour and other timings included. When it's happening.
22 And then, it includes what is happening. So, there
23 could be different price signals, for instance.

24 So, like the second example, we could say
25 tomorrow, from noon to 6:00 p.m., there is an event.

1 And this event may be a price event. And it could be
2 that from noon to 6:00 p.m. it's one specific price.
3 That would be, of course, a very easy event. Just like
4 a calendar notice, if you have Outlook or other calendar
5 applications, when you send the calendar notice
6 tomorrow, noon to 6:00, XYZ is the event, that's easy
7 enough.

8 There could, however, also be different
9 intervals in there, so the price could change during
10 that time frame. So, in your calendar notice for
11 tomorrow, it could say from noon to 2:00 p.m. it costs
12 X. From 2:00 p.m. to 4:00 p.m. it costs Y. And from
13 4:00 p.m. to 6:00 p.m. maybe there's a different price
14 or it goes back to the first one. It doesn't matter
15 what it is, there are these options that you can have a
16 price curve basically passed on to the building, so the
17 building can make a decision what to do with that.

18 If you can shift the load away from these high-
19 price times, that would be ideal. You save money and
20 you can adjust your curve, basically, to the pricing.

21 There could, of course, be also curtailment
22 events or events, with other words, that give you a
23 specific energy level. They could ask you to save a
24 certain amount of energy at a certain point in time.

25 Conversely, of course, it could also, if you

1 have generation, like if you have batteries, if you have
2 solar, maybe even other plug-in systems or generation,
3 it could also even ask you to increase power
4 consumption. If the grid, at some point, has too much
5 power, and we're starting to see that now with
6 renewables coming online during the day, midday, all of
7 the sudden we have more power, right, because all the
8 solar initiates kick in and we have a lot of power. So,
9 it could be that it asks you to use more power. You may
10 charge your batteries. You may plug in your car.
11 Things like that could happen.

12 So, there is an up and down request there that
13 can also be used, eventually, to balance all these
14 renewable energy resources out there. We like to call
15 this the distributed energy resources control, or DER,
16 as well.

17 So, the same kind of messages can control all
18 these typical energy consumers, but also the resources.
19 For us, from an OpenADR perspective, that's all the
20 same. You know, up or down the energy consumption, it's
21 the same for us. It's a resource, right.

22 In particular, we see that now, also, with the
23 EV chargers. EV chargers, obviously, in particular the
24 public ones, or the ones at the stations at companies,
25 they can be huge power things. Right, they can blast a

1 lot of power to charge these batteries very quickly.
2 But it also gives us a tremendous opportunity here for
3 flexibility, right, because you can tell them, hey, slow
4 it down a little bit or speed it up. So, they can vary
5 their output very easily.

6 And with that, this is also a future opportunity
7 for balancing the grid as a whole.

8 Anyhow, those are the typical signals. As you
9 can see here depicted, a little bit hard to see, but
10 these can be sent directly to the facility. Again,
11 gateways, Cloud environment, or things like that. Or,
12 they could go through an aggregator, as you see here at
13 the bottom.

14 This aggregator, there is multiple business
15 models for this. This could be a company that makes it
16 their specialty to sell power back to the utility. So,
17 they could actually go out and start these programs.
18 Right, they sell building owners or resource owners, in
19 general, a demand response program and then sell that
20 power at certain times back to the utility.

21 One business model there, on the East Coast,
22 they do that a lot.

23 Another business model would be that the
24 aggregator is simply a technology provider. Like, for
25 instance, almost everybody knows like the Nest

1 thermostats, right, the nice round, Nest thermostats.
2 And they are Cloud services is really where all the
3 intelligence of these devices is. They look very smart
4 on the wall. I hope nobody from Nest is listening, but
5 I don't think they're that smart locally, right.
6 They're smart in the Cloud. I'm sure they're great
7 devices. I have to say that, right. Locally, as well.

8 Anyhow, so they're facilitating the connection
9 here and this could be the case for, of course, a lot of
10 different technologies that they have, these
11 aggregators. Solar systems do that a lot, as well.

12 All right, real quick, I'm not going to go into
13 all of these details, there are a lot of programs now,
14 at the California IOUs. As I said, all of them use it.
15 One example here, I'm not going to go into the details
16 of the numbers. You can read that, if you're
17 interested. But there are, for instance, capacity
18 bidding programs. This is one at PG&E, where the
19 resource in retail, or wholesale market, offers load
20 reductions at a certain price.

21 This is predetermined how much load they can
22 give back at a certain price. Or, conversely, how much
23 load it is willing to curtail to save at a certain
24 price. So, there can be negotiations going on back and
25 forth, to the advantage of the customer and the utility.

1 The utility has less balancing to do, the customer can
2 save money here.

3 And then, Sacramento here, they have some
4 critical peak pricing programs where they essentially
5 try to regulate the consumption by sending different
6 prices, as I mentioned before.

7 So, during peak times, if it gets tight
8 somewhere or if they have to balance out certain
9 unwanted variations in the grid, they can increase the
10 price. And the facility can then decide, okay, I see a
11 high price, so like a facility manager might get the red
12 light of the traffic light pop up, or get a message.
13 Or, of course, machine-to-machine lighting systems start
14 to dim and things like that, in buildings to adjust for
15 this higher price, and basically shift the load away
16 from these areas. Again, helping both the customer, the
17 connected resource, and the utility balancing everything
18 out.

19 And then, Southern California Edison has -- one
20 of the programs that they have is the Bring Your Own
21 Device. Mostly, these are thermostats or I think a few
22 gateways, as well, where there is a cloud service
23 available and you can buy your thermostat, or other
24 device that participates in these programs then.

25 One thing I should mention is, I believe it is

1 more or less official, that the professional HVAC
2 manufacturers' groups, like AHRI, are also now thinking
3 about requiring OpenADR directly to, say, rooftop units
4 and things like that. This is not finalized, yet, but
5 they're strongly working on that. So that they can
6 actually circumvent thermostats which, for them, is
7 actually better because they can control a building much
8 easier if they have access to the actual units directly.
9 So, they regulate the demand side that way.

10 And then, of course, also for the zero net
11 energy measures there's a lot of communication being
12 done with OpenADR to different systems. Again, the
13 advantage of OpenADR is we only provide you the
14 information. We don't force you to do anything.

15 So, the manufacturer of these building systems
16 has all the freedom to put in their intelligence, to
17 make smart device, to be creative on what to do in the
18 building to save power.

19 So, I'll go just quickly through these. So, we
20 already discussed this a little bit. So, we have the
21 residential side typically, again, like small gateways
22 or thermostats. There can be pool pumps involved, other
23 systems like that.

24 Commercial, industrial, small, medium businesses
25 typically through gateways. And, of course, here for

1 Title 24, under commercial side.

2 And then we are starting to see, as I have
3 mentioned before, more connection to renewable energy
4 resource systems. Again, better re-supported solar
5 systems and other resources out there.

6 And then for the EV chargers one of the big
7 topics for electric vehicle chargers is, of course, the
8 price. So, some of the initial projects here send the
9 price information to the control system of the electric
10 vehicle charger. And if a customer comes up, plugs in,
11 slides their cards, or types in their membership number
12 or however they do it, they get right away the real time
13 price. So, if you charge your car, it will cost you X
14 amount of money. Or, by 3:00 p.m. today maybe it gets
15 more expensive. Do you want to stop charging then?
16 Things like that the customer has control over and gets
17 those price signals through OpenADR.

18 Again, all of this also possible through the
19 aggregator model here.

20 So, those were my main slides. I don't know if
21 you want me to go into a little bit more detail, but I
22 think time wise we're pretty good so --

23 MR. TAYLOR: Yeah, you're welcome to go into a
24 little more detail, if you'd like.

25 MR. BIENERT: Okay. Maybe we'll see if there

1 are some questions, I think I saw one.

2 MR. SHIRAKH: Mazi Shirakh from the CEC staff.
3 This is very helpful. My question is, you know, when
4 the 2019 standards go into effect we expect PVs,
5 batteries, heat pump water heaters, and all that, how is
6 it the utility actually will communicate with these
7 devices physically? Because we don't want them to use
8 the customer's Wi-Fi system. Because, you know, that
9 has its own risk. You know, if you depend on the
10 customer's Wi-Fi system they can change the router or,
11 you know, it can go down. So, how would they actually,
12 reliably communicate with these devices?

13 MR. BIENERT: Very good question, actually.
14 Yeah, there are a few options, of course. And I'm sure
15 during the implementation phase there will be probably
16 more discussion about that.

17 As I mentioned before, any kind of internet
18 connection would work. I agree, I would for instance
19 not use, necessarily, a customer's Wi-Fi network. You
20 would want to go closer to the source of the internet or
21 service provider.

22 So, it could be that if you have a larger
23 facility that there is one particular access point.

24 Now, I understand, of course, that there are a
25 lot of variations in buildings. Right? So, you could

1 have a commercial building where each and every office
2 has their own service provider. One chooses, I don't
3 know, Comcast, one chooses somebody else. One has only
4 Wi-Fi -- sorry, like cellular, Wi-Fi through cellular,
5 and things like that.

6 So, there we will have to determine what is the
7 best requirement for this, whether the building as a
8 whole would need a dedicated internet connection, for
9 instance? It would be extremely low speed. There's not
10 a lot of data going over this.

11 Or, if there is a preexisting network available,
12 where you could, you know, with a wire basically plug
13 into the internet router somewhere at the --

14 MR. SHIRAKH: Do you have any specific
15 suggestions for residential?

16 MR. BIENERT: Residential, to be honest, all the
17 residential that I know of just use the customer's
18 broadband, yeah. A few years ago it used to be
19 problematic. Nowadays, pretty much everybody has it.

20 MR. SHIRAKH: Everybody has it. But what
21 happens is the customer switches out the router, would
22 they have to, you know, reregister all the devices
23 that's --

24 MR. BIENERT: No, not necessarily. In fact, if
25 he would switch out his router and just plugs in his

1 gateway, or whatever it is again, there is no
2 difference, it just keeps working. I mean, unless of
3 course he misconfigures his network as a whole and
4 that's a different story.

5 But as soon as there is internet connectivity,
6 there is no other reconfiguration.

7 MR. SHIRAKH: Okay, thank you.

8 MR. PENNINGTON: So, I'm Bill Pennington with
9 the Energy Commission. So, a number of your slides
10 showed the ISO has one of the possible administrators,
11 or whatever your term was. But all of your examples
12 were about utilities.

13 And so, I was wondering if the Cal-ISO is using
14 OpenADR or is using some other communication protocol?

15 MR. BIENERT: Yeah. I can't say that I'm aware
16 of all the programs, obviously. Cal-ISO actually used
17 to be a member of the Alliance, so they're very well
18 aware of OpenADR.

19 I know that in some areas where the ISO is
20 operating demand response programs they have servers. I
21 don't know if Cal-ISO, for instance, even operates,
22 right now, a demand response program that goes down all
23 the way to the customer.

24 MR. PENNINGTON: So, my understanding is that
25 they're beginning to look for aggregation of the same

1 kinds of resources, primarily to benefit the
2 transmission system.

3 MR. BIENERT: Okay.

4 MR. PENNINGTON: But, you know, there's a
5 growing congruence between what the ISO is doing related
6 to transmission and what the utilities are doing related
7 to distribution, and sort of a need to make sure that
8 there's consistency there as much as possible.

9 MR. BIENERT: Yeah.

10 MR. PENNINGTON: And so, that might be a hang up
11 for us. If they're using a different communication
12 system, we might have to sort of allow for that or think
13 about how that would fit.

14 MR. BIENERT: Yeah, it makes sense if they do
15 have systems all the way to the building. I know that
16 the Lawrence Berkeley National Labs has had a number of
17 discussions with representatives of Cal-ISO. And I
18 think I'm sort of overdue to also try and meet with some
19 of them. So, I'd be happy to kind of put it on my to-do
20 list.

21 MR. PENNINGTON: Yeah, maybe if you could help
22 us clarify that, that would be useful.

23 MR. BIENERT: Yeah.

24 MR. PENNINGTON: And I'd like to join Mazi in
25 saying this is an excellent presentation. Thanks, Gabe,

1 for organizing it and it is very timely. So, thank you.

2 MR. BIENERT: Very good, thank you.

3 So, I'm sure the slides will be provided later,
4 so if you are a little bit more interested in some
5 technical aspects, here in the back of the slide deck
6 there are some more details on how the event works.

7 MR. MCHUGH: Hi, this is Jon McHugh, from McHugh
8 Energy. Could you just describe a little bit in terms
9 of the aggregator, in the situation when the aggregator
10 is communicating, you know, potentially with not an
11 OpenADR, but they're receiving an OpenADR signal, in
12 that case are they the Virtual End Note?

13 And then, in your topology how do you describe
14 the communication from the aggregator to the thermostats
15 or other devices in the individual houses? Thank you.

16 MR. BIENERT: Yeah, very good question,
17 actually. So, again, obviously, I don't know all the
18 business models of all these companies out there. But
19 here are a few examples of what I've seen.

20 A lot of times the aggregator is, as it was just
21 mentioned, the Virtual End Note. So, the aggregator
22 represents the OpenADR client to the utility, and the
23 aggregator then has a different kind of connection to
24 their specific control systems.

25 The biggest reason for that is that a lot of

1 times these are very customized, tailored systems that
2 the aggregator company puts in the resource facility.

3 So, to give you an example of a big aggregator
4 company, NRNEX -- sorry, EnerNOC, a big network
5 operation center here in San Francisco, very impressive,
6 and in Boston. The way they do it is they typically
7 work with very large resources. So, these are not
8 residential buildings. These are not small, medium
9 businesses. These are factories that use upwards of a
10 megawatt and more power. For them, this is the low-
11 hanging fruit, right. Because they can go into these
12 factories and say, hey, if we put X amount of automation
13 here and there, with your permission and maybe with your
14 building manager's sign off each time this event
15 happens, we can get your power down by 500 megawatts.
16 So, these are significant numbers there.

17 So, what they do then is if the factory, the
18 manufacturer agrees to that, and of course they get paid
19 for it, they get paid for this half-megawatt. They get
20 good money for it. Then, EnerNOC goes and brings their
21 automation equipment, sets this up in this factory.
22 Some of it manual, also through the building manager and
23 so on.

24 And a lot of times, as far as I know, they even
25 have their dedicated cellular link because they don't

1 want to lose this link. They don't want to lose this
2 half-gigawatt or whatever it is, resource, right. So,
3 they're very specific about that.

4 So, that's sort of like the large-scale end,
5 right. So there, they have their communication.
6 EnerNOC, for instance, also uses OpenADR in some of
7 these systems, but it's probably their own version.

8 The upside is this all belongs to them. They
9 manage it. They're responsible for it. They're
10 responsible for it to work, basically.

11 Then on the other end of the scale like, for
12 instance, the thermostat model that I mentioned earlier,
13 right, probably a little more applicable for California,
14 for small, medium businesses and so on. There, it's a
15 little bit more like, say, your i-Phone. Right. Like a
16 lot of people now have internet-connected devices,
17 whether it's i-Phone or Android, or other systems that
18 you use in your house. All of these devices are very,
19 very dependent on the cloud that sits behind them.

20 You know, without them, if the Apple cloud goes
21 down, your i-Phone will probably become useless in a
22 short period of time.

23 So, there, then this cloud control system hosts
24 the OpenADR client. So, the client is only built into
25 that cloud once. And then, typically, they communicate

1 with other means to their devices.

2 So, let's take again the Nest. I always like to
3 use them because people know them. The Nest thermostat,
4 for instance, for those of you that have one will know
5 it connects via Wi-Fi to your home network. And once
6 you're connected to the Wi-Fi network it goes into the
7 cloud and the cloud has control, basically.

8 So, there is no OpenADR all the way down to that
9 thermostat. So, this is then at the far other side of
10 the spectrum, the small device here.

11 So, yes, to answer your question there can be
12 proprietary technology that connects the actual control
13 system with the device that is being controlled. Right.

14 Now, the distance between the two can vary.
15 Right, you have the cloud which is sort of virtual,
16 somewhere outside, or nobody really knows where it
17 really sits, and the thermostat, right. Or, of course,
18 you could have a little gateway device, a little gateway
19 in your building.

20 And I think for small, medium businesses that's
21 kind of a very common solution. There are several of
22 our members that provide these building management
23 gateways, little boxes. They are, then, the OpenADR, or
24 VEN, the Virtual End Node, the client. They sit
25 somewhere in the building. And then they can

1 communicate with all kinds of other devices in the
2 building, with the thermostat, with other devices via
3 typical things, Wi-Fi, Zigbee, Thread, all these common
4 building management systems.

5 So, there's really no need to have, in every
6 device an OpenADR or Virtual End Node, which requires
7 the device to have web services. So, it requires a
8 little bit of computing power to do that. So, a pool
9 pump wouldn't have that kind of computing power, for
10 instance, or a hot water heater and things like that.

11 So, as you can see there's a lot of variety in
12 there. But, yes, that final link does not have to be
13 OpenADR.

14 MR. SHIRAKH: Mazi again. So, you mentioned
15 these gateways for small commercial facilities. Why
16 can't we have the same for residential? There could be
17 a gateway that all the --

18 MR. BIENERT: Absolutely. Absolutely.
19 Absolutely. No, no, you could have that for
20 residential. It's just at this point I think less
21 likely that you have a home energy management system.
22 Will there be some in the future? Absolutely. Maybe.
23 Right, with the whole internet of things and more and
24 more connected devices at home, there may very well be a
25 service provider that gives you a little gateway, right.

1 Service providers like Comcast, and AT&T, and so
2 on, are already pushing towards this inclusion of other
3 devices, right, because they give you now a home
4 security system. Right, so all of a sudden your modem
5 becomes a home security system as well, and talks to the
6 door sensors and other sensors.

7 And at the same time it could receive, for
8 instance, energy signals to then vary the different
9 resources in the building. So, we have some service
10 providers that are interested, for instance, in energy
11 signals because of that.

12 MR. SHIRAKH: Could the local utility provide
13 these gateways?

14 MR. BIENERT: Yeah, why not? I couldn't
15 comment, really, on who is providing the gateways but,
16 yes.

17 MR. SHIRAKH: Thank you.

18 MR. TAYLOR: I believe we have a few questions
19 from online. Go ahead, Bill.

20 MR. PENNINGTON: So, a question. So, does
21 OpenADR had any security capability within it that is
22 guarding against hacking, or might control communication
23 that might access a utility system? You know, the VEN,
24 I guess.

25 MR. BIENERT: Yes, let me just go back to this

1 picture here to just show it. Yes, in fact it took us
2 the better part of a year to fulfill all the cyber
3 security requirements that were given to us by NIST, and
4 other organizations out there.

5 And there are a few aspects here to look at.
6 The nice thing is that OpenADR on purpose is not a mesh
7 networking technology. So, we see, or in the past we
8 have seen a lot of problems. You know, if you start
9 meshing everything together, every device talks to every
10 device it becomes more difficult to control cyber
11 security.

12 I'm not saying it's impossible. They do it.
13 These technologies, like Zigbee, like others, are very,
14 very advanced, now, in security as well, so they are
15 secure also.

16 We, however, decided from the very beginning
17 this is point to point. So, it's only one VTN to one
18 VEN. So, the VENs do not talk to each other. And
19 again, this is by design at this point.

20 So, we only need to worry, really, about that
21 one connection between the server and the client and
22 make sure that this is secure.

23 Now, the internet community has been working on
24 security, of course, for decades. And so we worked our
25 way through, okay, what's possible for OpenADR? And it

1 used to be that a typical system, if you for instance
2 look into your bank, right, you type the URL of your
3 bank, wells Fargo.com, or something, and then your
4 browser, in your computer, verifies that the security
5 certificate, the fingerprint so to speak of this website
6 that you're just getting to is correct. So, it verifies
7 it through some online listings. It knows the
8 certificates.

9 Sometimes, if you go on other websites, you
10 might get like a warning that the certificate has
11 expired, do you really want to proceed, right.

12 So, the same thing here, your bank shows a
13 certificate and your browser says, yeah, okay, this is
14 really the bank. It didn't reroute you to
15 wells Fargo.expert whatever .com, right, to get your
16 information. That's why we should never click on links
17 in emails, right?

18 Now, OpenADR uses also these server certificates
19 so that the client sees the server, specifically
20 identified by a certificate.

21 However, in OpenADR we also added the same type
22 of security certificate on the client side. So now the
23 server, in turn, also sees, oh, okay, this is an OpenADR
24 client and it verifies that it has a valid client
25 certificate. These client certificates can only be

1 obtained by companies that have OpenADR certification or
2 in other words have certified the protocol interface of
3 the OpenADR portion.

4 And they all go through the certificate
5 authority, which is the organization that issues these
6 electronic certificates and then it is approved by us.

7 Of course, to be honest, we have no control over
8 what the utility in the end does. If the utility
9 decides to turn off security there's nothing I can do
10 about it. Just like when you buy a Wi-Fi router at the
11 store it typically comes with a high security turned on,
12 with a nice long password. If you go in and turn off
13 that security, the manufacturer can't really prevent you
14 from doing that, right, so the same scenario here.

15 But we require, for certification, that devices
16 fulfill this what's called TLS, the transport level
17 security 1.2, which is the latest transport layer
18 mechanism. And using our certificates on both sides, so
19 these two certificates will be exchanged and there will
20 be some processing done before a link is established.

21 So, we feel that the OpenADR link, itself, is
22 actually very secure. There are probably more security
23 risks on the utility end just from hacking into basic
24 utility systems would be my guess.

25 And another aspect to OpenADR is also using a

1 technology like OpenADR to connect these resources to
2 the utility provides you with a certain firewall.
3 Because the OpenADR server manages these resources and
4 then you link them in as the customer resources. So,
5 these systems, these OpenADR clients, they are not
6 directly connected to any kind of grid control network.

7 So, it's not like you're all of the sudden
8 opening up your grid control network to millions of
9 access point, right, where hackers could hack in through
10 like a thermostat, into the building control system.

11 And this is the nice thing about these kinds of
12 technologies, they provide a demarcation point, right,
13 between like somewhere on the back here, on the left-
14 hand side, somewhere left of this VTN there is the grid
15 control. There is like your substation control, your
16 transmission control, everything, ISO messages flowing
17 there about distribution, transmission, and so on.

18 And then, some information feeds into the
19 OpenADR server so that the server can make the
20 intelligent decision, okay, where do I need to deploy my
21 resources?

22 And then, they're completely disconnected.
23 Again, they're disconnected through this one specific
24 link. So, even if somebody were to get into a building,
25 into a building control network, really, the worst thing

1 that could happen is they maybe claimed to have more
2 resources available than they actually have. But this
3 is also predetermined, already, during initial
4 configurations. There's not much you can fool around
5 with at this resource level.

6 So, we feel that the security is fairly well
7 covered.

8 MR. TAYLOR: So, over the next few months --

9 MR. BIENERT: I guess the mic's probably not
10 working there.

11 MR. TAYLOR: So, over the next few months we'll
12 be continuing these discussions with the OpenADR
13 Alliance and with stakeholders who are interested in
14 discussing the really technical details of this
15 protocol.

16 We do have a few questions online and two
17 people, I believe, raised their hand. Please state your
18 name?

19 MR. WICHERT: Claire, do you have a question?

20 MS. WARSHAW: I'm here. Can you hear me?

21 MR. WICHERT: Start with your organization and
22 name. Yeah, we can hear you.

23 MS. WARSHAW: Okay. My name's Claire Warshaw
24 and I am just listening for education purposes today.
25 This is an interesting discussion. I've not heard this

1 discussion, kind of this concept before of an internet-
2 based control system for residents.

3 And the reason I say that is I used to work for
4 SMUD. And several years ago, when they were introducing
5 smart meters to us they were discussing the ideas that
6 smart meters would be the devices that would control a
7 resident's devices, like thermostats and things like
8 that.

9 So, in a sense it seems like we've departed from
10 that idea. It sounds like this is more internet-based,
11 even for the residents. Is that true or is that up to
12 who OpenADR sends their signal to, or their message to?
13 So, they send it to the utility and then the utility
14 still might be thinking about using smart meters to
15 control resident energy?

16 MR. TAYLOR: No, no, this is specifically a
17 protocol for getting information. The utility here is
18 very much like your computer and your web browser. So,
19 the OpenADR protocol simply says that the house has to
20 have a device that can read this protocol, like a web
21 browser, right.

22 So, what the homeowner would do, what you would
23 do is you would tell your device, say you had a battery
24 in your garage and you were using it to charge your car,
25 and you had solar panels on the roof, the device would

1 have the ability to understand the protocol. You would
2 tell the battery to go get the information from the
3 utility or from the aggregator in order to take action.

4 So, there's no control from outside. It's you
5 having the ability to get the information.

6 Rolf might be able to explain that a little
7 better.

8 MR. BIENERT: Yeah, I think -- I guess we're
9 getting a little bit into the realm of personal opinion
10 here, too. But you're absolutely right, I think very
11 exactly 10 or 11 years ago, when smart meters were
12 initially introduced, and of course you had the AMI, the
13 advanced metering infrastructure in place, it seemed
14 logical to say, okay, now we have a link to the meter.
15 Why not going from the meter into the building and
16 control various devices, like a thermostat, like
17 providing an in-home display for people to see energy
18 usage and things like that?

19 Very quickly, and I'm speaking now for some
20 California utilities or, I should say, I'm reiterating
21 what I heard from some California utilities; there were
22 big concerns about doing that. And some of them are,
23 for instance, who is responsible for products?

24 So, if you have the utility basically
25 controlling a thermostat, or an appliance, or something

1 else in your building through the smart meter, it now
2 becomes quite problematic. What happens if these
3 devices fail? Or, what happens if, you know, some of
4 these commands, for the lack of a better term right now,
5 get stuck or something? You know, the communication
6 stops and who are they going to call, you know, as the
7 old saying goes, obviously, not the Ghost Busters, but
8 the utility.

9 And the utility very quickly figured out that
10 that would then involve a lot of possible service calls.
11 You know, every time a thermostat is not working any
12 more they would call the utility, potentially, things
13 like that.

14 So, the idea of controlling household
15 appliances, devices, and things like that in the home
16 behind the meter, and through the meter was fairly
17 quickly modified. There are still possibilities for
18 this. Of course, meter reading is still being done.

19 Anything up to this very physical demarcation
20 point of the smart meter control of that is still being
21 done through this AMI network. For instance, connect,
22 disconnect, again the energy readings, things like that,
23 all of this is still being done as planned through the
24 AMI network. So, I believe that the rollout of the
25 smart meters was a really good success for this and for

1 the stability of all of this.

2 But the ideas of advancing this into the
3 building I think are only here and there to be seen
4 these days. I'm not sure if anybody's still doing that.

5 MS. WARSHAW: Okay, thanks.

6 MR. TAYLOR: Thanks for the question. That's a
7 very important clarification. We get really deep into
8 the details here and sometimes we forget that it cannot
9 sound like we think it sounds. So, I appreciate the
10 question.

11 But just to be clear, this proposal is that for
12 a new building, that in the areas of the code where
13 there are devices that can allow the occupant or the
14 owner of that building to respond to demand response
15 signals from the utility, so this is where the utility
16 says I will pay you to do something. The devices that
17 exist speak a certain language, a common language that's
18 open source. It's not proprietary. So, you can't have
19 a certain company corner the market on that type of
20 device.

21 Okay, I believe we have --

22 MR. BIENERT: I think there's some microphone
23 problem. Do you want to just talk into this one here?

24 MR. TAYLOR: I believe we have one more question
25 by Michael Jouaneh.

1 MR. JOUANEH: Yeah, hi, this is Michael Jouaneh,
2 with Lutron Electronics. I actually have four
3 questions. The first one is can an occupant-controlled
4 smart thermostat still be used in place of solar
5 readiness?

6 MR. TAYLOR: Michael, why don't we answer these
7 one at a time, as you go?

8 MR. JOUANEH: Okay.

9 MR. TAYLOR: So, the first question --

10 MR. JOUANEH: Did you hear my first one?

11 MR. TAYLOR: Yeah, the OCST. So, our proposal
12 is to modify JA-5 to change the term OCST, to bring that
13 into alignment both with 90.1 and also with the term of
14 an energy management control system. Because an OCST is
15 simply a very limited energy management control system,
16 generally in a residential setting.

17 So, we're simply trying to streamline the code
18 there. The intent at this point is not to change the
19 general requirement in JA-5, but simply to streamline
20 the code so that it's more of a common requirement that
21 uses the same terminology throughout.

22 MR. SHIRAKH: I think what Michael is asking is
23 that there's a requirement for solar arrays to be 250
24 square feet. And there's a provision in the standards
25 that if you install a smart thermostat, an OCST, you can

1 reduce that square footage from 250 to 150.

2 That's what you're asking, Michael, Correct?

3 MR. JOUANEH: Correct.

4 MR. TAYLOR: Correct. And we didn't change that
5 requirement at 110.10 that references JA-5.

6 Thanks, Mazi.

7 What's your next question?

8 MR. JOUANEH: So, are OpenADR certified products
9 required to comply with the new demand response
10 provisions or will only VENS needed to be certified,
11 OpenADR certified?

12 MR. BIENERT: For me that's kind of the same
13 thing. So, the way I understand it and, of course,
14 we're not in the implementation phase quite yet, where
15 the actual implementation requirements are going to be
16 defined. But the way I understand it is that there
17 needs to be an OpenADR interface somewhere on premise or
18 in that loop, which I'm assuming should be OpenADR
19 certified.

20 MR. TAYLOR: Yeah, this does touch a little bit
21 on the implementation phase, but I want to go back to
22 the owner occupant enabling.

23 The code is written so that the owner or
24 occupant of the space, once it's constructed, has the
25 ability to take the actions they choose to take. So, in

1 this context I believe the VEN would need to be
2 certified, but there's no specific requirement for
3 hardware.

4 MR. BIENERT: Yeah, and I think maybe what is
5 meant here is that I think if you have -- for instance,
6 if Lutron for instance has a lighting control system,
7 the way I see it and, again, we can discuss it in the
8 future, but the way I see it is that control system does
9 not necessarily have to be OpenADR certified if it is
10 being served through an OpenADR gateway, for instance.
11 There could be an OpenADR gateway that then provides,
12 you know, or requests to the lighting control system.

13 In fact, Heidi and I had a discussion about that
14 the other day, how do we ensure, though, that this
15 OpenADR enabled gateway can actually talk to the
16 lighting system. So, there needs to be some kind of a
17 functional confirmation there.

18 MR. JOUANEH: Okay.

19 MR. TAYLOR: What the customer does with the
20 information once they receive it is between them and
21 their utility, or aggregator, or whoever is paying them
22 to take the action. The energy code here --

23 MR. JOUANEH: I lost you. I lost your audio,
24 Gabe.

25 MR. BIENERT: Yes, it's fading in and out.

1 MR. TAYLOR: The code simply requires that the
2 building have the ability to obtain the information so
3 that the customer can take the action.

4 MR. JOUANEH: Okay. So, the third question, so
5 for demand responsive lighting in commercial buildings,
6 will the new provisions require demand response events
7 to happen from current lighting levels? So, today in
8 the existing language, if lights are already dimmed down
9 by more than 15 percent, then the lights don't need to
10 do anything after receiving a demand response signal.
11 Lighting should respond upon receiving a demand response
12 signal.

13 MR. TAYLOR: Yeah, Michael, those specific
14 requirements in the lighting section are being handled
15 separately, under the lighting topic area. And so,
16 Simon Lee is the subject matter expert in that. And I
17 believe we already had the workshop on that. Were you
18 able to attend that workshop?

19 MR. JOUANEH: Yes. And I think I made basically
20 the same comment at that workshop.

21 MR. TAYLOR: Was that question not resolved?

22 MR. JOUANEH: They basically said bring it up at
23 this workshop.

24 MR. TAYLOR: Oh, that's terrible. Okay.
25 Because we're not -- we're not proposing any specific

1 changes to the lighting section here. We're simply
2 collecting the language that they're proposing and
3 putting it in one area.

4 MR. JOUANEH: Okay.

5 MR. TAYLOR: Okay, please submit that comment in
6 writing and we will get you an answer.

7 MR. JOUANEH: Okay. And lastly --

8 MR. TAYLOR: Hold on a second, Heidi's coming up
9 to the mic. I think Heidi's going to answer.

10 Heidi, please give your name and --

11 MS. HAUENSTEIN: Hi, this is Heidi Hauenstein,
12 representing the Statewide Utility Codes and Standards
13 Team.

14 So, Michael, we aren't recommending any changes
15 to the actual dimming requirement. So, at least from
16 the CASE proposal it remains the same, where the dimming
17 is required for the maximum output level. And if you
18 are already dimmed when the event comes through, then
19 you don't have to dim further.

20 MR. JOUANEH: Okay. That's disappointing to me
21 but you answered my question.

22 MR. TAYLOR: Well, please provide that comment
23 in writing and we'll go back and we can discuss it with
24 Simon.

25 MR. JOUANEH: Okay. Lastly, can BACnet be added

1 as an alternative to OpenADR, because many building
2 systems, such as lighting systems, already speak BACnet
3 to talk with the building's BMS system?

4 MR. BIENERT: Yes, but in a sense it's not
5 necessarily an alternative to OpenADR because BACnet
6 does not provide the link to the utility.

7 However, you're extremely welcome to continue
8 using your already existing BACnet control networks, of
9 course, whether this is BACnet, whether this is Echelon,
10 or whatever building control systems you have in place.
11 These can remain in place. There does not have to be
12 any change to this.

13 As long as at some point virtually or
14 physically, in your network the controller can receive
15 an OpenADR signal. So, again, it could be like a
16 gateway that is being added somewhere that then feeds
17 into the BACnet control network in the building. Or, if
18 your BACnet control system, let's call it like this,
19 whether it's a computer or some integrated system can be
20 upgraded to have internet access and an OpenADR
21 interface that would do it. So, the BACnet can
22 definitely stay in place.

23 MR. JOUANEH: But it can't be an alternative,
24 instead of OpenADR. You would still need, somehow, a
25 device or gateway that speaks OpenADR, and then that

1 device can then talk to BACnet, if it needs to, to
2 control the lighting system for example.

3 MR. BIENERT: Correct, yes. BACnet is not
4 really designed to talk, say, to the utility or the
5 utility does not have any systems that could talk BACnet
6 at this point. At least that I'm aware of.

7 MR. JOUANEH: Okay, thank you very much.

8 MR. TAYLOR: So, in a few minutes we'll have
9 another opportunity for questions, if anybody has any
10 lingering questions they didn't get to answer, yet.

11 I'm going to go back to my presentation now and
12 continue on. I just have a few more things I wanted to
13 get to.

14 To summarize the proposed changes, the dominant
15 change that we're making right now is the cleanup
16 change, both harmonizing with ASHRAE, clarifying the
17 intent, and just cleaning up more than a decade of
18 demand response language contained in code. We're
19 trying to make it as understandable as possible,
20 implementable as possible.

21 And then consolidating that DR language into one
22 section and the new section 110, and then the OpenADR,
23 which we've had quite a bit of discussion about.

24 Obviously, it's going to take a little while for
25 everybody to get really comfortable with OpenADR. This

1 is a protocol that's been around for a long time. The
2 reason that the Energy Commission funded the development
3 of this protocol is because this is a very complex
4 topic. Developing a language that enables the customer
5 to do anything they want to do in this arena, in
6 response to a utility or an aggregator signal is a very
7 challenging language. And we've spent more than a
8 decade developing it in collaboration with all the
9 utilities, the ISO, with national and international
10 standard-setting bodies, and manufacturers. This is a
11 robust protocol that has been in development for a long,
12 long time now.

13 It's not entirely simple because this is not a
14 very simple problem. But we believe that this is
15 sufficiently developed that it is ready to be
16 implemented in code and we look forward to further
17 discussions.

18 If you do have any detailed technical questions,
19 please, please submit those in writing. Again, the
20 deadline is July 28th.

21 And now, I will give you an overview of the
22 schedule for the total rulemaking and then we'll have
23 another opportunity for a few more questions before
24 lunchtime.

25 So, the 2019 Title 24 Standard cycle started in

1 2016, with research and outreach on a number of parties,
2 including the Energy Commission staff. Right now we're
3 in 2017. This is the prerulemaking phase. This is
4 before we get into the legally mandated schedule of a
5 rulemaking.

6 In 2018, we'll enter -- actually, it will start
7 late, late 2017, probably around November. We'll start
8 the formal rulemaking process. The formal rulemaking
9 process is mandated in the law to protect everybody
10 outside of the government from laws that they're not
11 aware of, basically. It seems kind of funny, but many,
12 many years ago, a century ago or more, it would happen
13 where an authority would make a law, and nobody knew
14 about it, and then they would be held accountable for
15 that. And it didn't seem particularly fair, so now we
16 have a formal rulemaking process.

17 Essentially, there's a law that governs how we
18 make law. That's the rulemaking process. It requires
19 that we publish all of our proposals publicly, and then
20 there's a rigorous 45-day period for anybody who's
21 interested to comment on it. We're required by law to
22 respond to those comments. And then, there's a whole
23 process for approving the language.

24 And then, finally, once it's approved by all
25 parties, and in this case it would be both the Energy

1 Commission and the Building Standards Commission, there
2 is required by law a one-year waiting period.

3 So, this rulemaking, this 2019 rulemaking will
4 be finished by the end of 2019 and it won't go into
5 effect until January 1st, 2020.

6 Okay, so right now in the prerulemaking phase we
7 started our draft code change proposals back in May.
8 And now, we're in the workshop here in July. The
9 comments from all stakeholders at the end of July and
10 then we'll respond to those comments later, in October.
11 And then, in November we'll have the start of that 45-
12 day public review process that I mentioned.

13 In January of next year we'll end that review
14 process and we'll handle any comments that we receive
15 from the public. Again, we're required by law to
16 respond to those comments. And then we'll issue any
17 revisions that we have to the code.

18 If, in response to comments, or if we identify
19 any errors in the code and we need to issue a revision,
20 there's a 15-day public review process. Later in that
21 code cycle it gets a little bit more rapid, a little
22 faster. And this is the reason that we have this
23 prerulemaking phase. Hopefully, we can resolve all of
24 your questions, all of your concerns now so that when we
25 enter that rulemaking phase we're just dotting I's and

1 crossing T's. Hopefully, we're not still worried about
2 any significant issues. That's the goal.

3 And then in May of 2018, the Energy Commission,
4 if all goes well, we'll adopt, formally adopt these
5 proposals. And then, the Building Standards Commission
6 will review them and adopt them by the end of 2018. And
7 then there's that one-year waiting period where the code
8 goes into effect, it's published, everybody's aware of
9 it and everybody has a year to get ready to comply with
10 it.

11 These are some of the same links that Payam
12 provided earlier. These will be published on the
13 website as part of this presentation. And here we have
14 contact information for the key players in the demand
15 response section of this Title 24 rulemaking process.

16 At this point, I'd like to ask if there's any
17 further questions, it looks like we have about 20
18 minutes left before lunch?

19 If you do have any questions that you don't get
20 to ask today, don't worry, you have until the end of the
21 month to provide them in writing.

22 So, Peter Strait is actually on the phone right
23 now and he'd like to make a comment. He's the
24 Supervisor of the Standards Development Office.

25 MR. STRAIT: Hi. First of all I'd like to

1 apologize. I was intending to be on-site so we could
2 discuss the DR topics that you had in a little bit more
3 detail. But I'd ask if he could get back up on the mic
4 and give a little bit more background on the other
5 topics that he had interest in DR.

6 I know that this effort right now is primarily
7 cleanup effort and I know that there were a few other
8 topics that he wanted to discuss related to DR.

9 MR. BOZORGCHAMI: Peter, this Payam. Michael
10 Jouaneh is also on the phone, so he's not here in
11 person.

12 MR. STRAIT: Oh, okay. Can we unmute him?

13 MR. WICHERT: Yeah, Michael, you're unmuted.

14 MR. JOUANEH: Hey, thanks Peter. I think my
15 questions were asked and they've been answered. I guess
16 my big concern as far as demand response of lighting
17 right now the existing language basically says, you
18 know, reduce by -- have the capability to reduce
19 lighting by 15 percent upon receipt of a demand response
20 signal. And if your lighting is already reduced, you
21 don't have to do anything with the lighting upon receipt
22 of the demand response signal.

23 MR. STRAIT: Right.

24 MR. JOUANEH: That's not really demand response.
25 If you really want to do demand response, something's

1 supposed to happen when you get a demand response
2 signal. So, that's my big issue.

3 MR. STRAIT: Sure. Well, what we're looking
4 again at that language in that particular area is the
5 15-percent reduction is ultimately going to be moved to
6 be a test standard that they have to meet for the
7 acceptance testing. To say, if my lighting's on 100
8 percent and I receive this signal, is the system at
9 least able to issue an order that lowers it by that
10 amount, and just to show that all the different pieces
11 are talking to each other.

12 As was mentioned, our intent is to move to a
13 general framework where what that response looks like in
14 practice, how that building responds to that signal can
15 be variable. But we know the building is capable of
16 responding and that owner can then determine when I
17 receive the signal, and in these circumstances what do I
18 do with it.

19 I think that was mentioned kind of in the middle
20 of the presentation, by the OpenADR representative. But
21 that is our intent that the 15 percent not be a specific
22 benchmark of this is what demand response means. But,
23 instead, this is a criteria demonstration that the
24 building's components can respond to a signal, and the
25 specific response they engage in is up to the

1 conversation that's going to be had between that
2 building owner or operator, the tenants of that space,
3 and the utility that they're interacting with.

4 MR. JOUANEH: Okay. That sounds good to me. I
5 guess somehow, how do we make that clear in the standard
6 or maybe in the user's manual for the standard, or
7 whatever, but that would be good.

8 MR. STRAIT: Yeah, we're still working. And
9 that's the tricky part. I can tell you that that's our
10 intent and that's the direction we're trying to go.
11 Trying to embody that in language is pretty difficult.
12 So, we're chewing on that question right now.

13 MR. JOUANEH: Okay. Thank you, Peter.

14 MR. STRAIT: Sure, thank you.

15 MR. TAYLOR: We have a comment here in the room.
16 Please introduce yourself for the court reporter?

17 MR. HALL: Hi, I'm Phillip Hall, Director of
18 Lighting Control Systems for Enlighted.

19 A couple of comments, today as was just stated,
20 essentially in seven rooms, we have to prove that we're
21 compliant. The problem that I have with the way
22 manufacturers have been going about that is there are
23 many different ways of saying that, yes, we're
24 compliant. Some of which involve a zero to 10 signal,
25 which will go out to those seven rooms.

1 So, really, it is not compliant, as far as I'm
2 concerned, because should you actually want to use ADR
3 the building's not wired for that. The building is not
4 designed at that point to take a systemwide signal to
5 drop 15 percent. Should the owner actually ever want to
6 implement that, well, they're basically going to have to
7 start opening and ripping up walls because it's not a
8 network system.

9 I would like to see this as a mandatory 15
10 percent drop based on wherever the system is currently
11 at, and the test should be done systemwide.

12 The other problem that exists today is how the
13 testing is actually being done. Because an ADR signal
14 is not required for the testing, you just have to prove
15 that there's a way to do it, again you basically have
16 systems that will never work should you want to be able
17 to do that.

18 I think what we're talking about in not changing
19 the code is, again, we're going to end up with systems
20 that are not ADR 2.0 compliant. They're system that,
21 you know, they're just not going to function unless you
22 start using the word "mandatory".

23 Being able to be BACnet compliant is fine as
24 long as there is a BACnet system within the building
25 that is ADR compliant. And I think that's a big point

1 because a lot of the smaller buildings are not going to
2 have building management systems. So, thank you.

3 MR. TAYLOR: Will you be providing those
4 comments in writing? Thank you.

5 Heidi?

6 MS. HAUENSTEIN: Heidi Hauenstein with the
7 Statewide Utility Codes and Standards Team. So,
8 Michael, I wanted to go back to your question about kind
9 of the required dimming. And so, Title 24 can require
10 that you have a DR control system, but it can't require
11 that anyone actually sign up for a DR program.

12 So, I think part of this effort is to make sure
13 that everyone in this room, and everyone who complies
14 with Title 24, gets a better understanding that when you
15 comply with Title 24 your building is capable of
16 communicating through OpenADR, but that doesn't replace
17 the need to actually enroll in a DR program.

18 And part of enrolling in a DR program, you'll
19 work with your utility or the DR aggregators and make
20 sure that the link between whoever's sending the DR
21 signal and the component within the control system that
22 actually implements the control strategy is functioning
23 from end to end.

24 And the other thing that the occupant will work
25 on with the utility is customizing their control

1 strategy.

2 So, the acceptance test does say that, you know,
3 it only tests dimming to 15 percent below. But in
4 reality, when that building goes and signs for a DR
5 program that control strategy is going to be customized
6 when that user is enrolled in a utility program.

7 MR. TAYLOR: Claire, I see your hand raised
8 again. Do you have another question?

9 MS. WARSHAW: I do. And it's a pretty different
10 one, but I'm sure that some of you have thought of it a
11 little bit. We've increased a lot of wireless frequency
12 over the last decade. And at SMUD, I listened to some
13 board meetings where customers are coming in,
14 complaining about possible health issues, and you're
15 about to address healthcare facilities. And I think
16 that there is some concern, I don't know, maybe it's
17 some of the people I've listened to, because I've kind
18 of focused on this the last few years, that are
19 concerned about radio frequency affecting human health.

20 Does the code, the Building Efficiency
21 Department updates ever considering looking at how these
22 connections are considered safe? For instance, even
23 using OpenADR, itself, which is a whole new concept to
24 me today, but I've enjoyed learning about it, you are
25 sending a signal from someplace, again to someone's

1 internet or something similar, a building something.
2 And so, that's a big connection that happens. And
3 there's a lot of that going on. And the more that these
4 things happen where you have thermostats that are
5 receiving connections, it seems to me that it ought to
6 be considered somewhere in our codes to address to make
7 sure we aren't going to put human health at any risk.
8 Especially with, for instance, a thermostat that's close
9 to bedrooms receiving a signal from some place.

10 MR. TAYLOR: Yeah, the code certainly takes into
11 account health and safety issues. In this case --
12 specifically, so there's a couple different questions
13 you mentioned there. OpenADR is just a language. It's
14 not introducing any new signals or any new wiring, or
15 anything like that. It simple says that there needs to
16 be the ability to understand the specific language.

17 It's sort of like, and Rolf will correct me if
18 I'm wrong here, like your computer can understand HTML,
19 which is a language that your computer speaks. And so,
20 when you go on the internet other webpages are written
21 in a computer language, and you can actually flag your
22 computer so you can see the HTML. It looks like
23 computer code. It's pretty confusing.

24 But your computer speaks HTML, and the other
25 computer at the other end of the line speaks HTML so

1 they can talk to each other.

2 What this is simply stating is that we need to
3 have a device in the home that is capable of
4 understanding this language. So that if the utility has
5 a program where they're willing to pay you to take an
6 action, and you want to take advantage of that program
7 you can go to your utility and sign up to that program,
8 and you already have the ability to understand the
9 language. Your house already has the ability to
10 understand the language. It's not introducing anything
11 new that -- and you're not required to take advantage,
12 to sign up for that program. That's entirely up to you,
13 as Heidi mentioned earlier.

14 The goal here is owner/operator-centric. We're
15 just making sure that the built environment has the
16 tools in place so that if the owner or operator of the
17 building wants to do something, they can do so at
18 minimal cost.

19 MS. WARSHAW: Okay, I think I understand that
20 already.

21 MR. TAYLOR: Okay.

22 MS. WARSHAW: I'm still wondering about the idea
23 of whether your code has already considered human
24 health, as far as these connections are concerned?
25 Because even what you just spoke to me about, a message

1 is sent to a computer wirelessly; correct?

2 MR. TAYLOR: It depends on what you have
3 installed. Do you have a Wi-Fi, a router in your house?
4 Do you use a cell phone?

5 MS. WARSHAW: I'm not even talking about me,
6 alone.

7 MR. TAYLOR: Okay.

8 MS. WARSHAW: I'm talking about your making code
9 for new buildings, new residences. They are going to
10 put in something, potentially, and agree to it,
11 potentially, to have demand response messages sent to
12 some device in their home; right?

13 MR. TAYLOR: The OpenADR system will use any
14 existing wireless or wired connection. In my home, I
15 have a wired connection for most of the computers
16 because I think it's a little more reliable. So, it's
17 whether you have --

18 MS. WARSHAW: Okay, but then from there the
19 movement has been towards wireless. And the talk was
20 somewhat of individual devices that were being managed
21 by internet, right?

22 MR. TAYLOR: But those are devices that are
23 purchased by the owner or occupant. So, in your home,
24 if you buy a thermostat that has wireless, then that's
25 up to you.

1 MS. WARSHAW: True. But is there -- and all I'm
2 asking is has there been any consideration of wireless
3 connections considered for human health reasons? Has
4 that been brought up into these codes in any way?

5 MR. TAYLOR: Absolutely, there are.

6 MR. STRAIT: This is Peter Strait.

7 MR. TAYLOR: Go ahead, Peter.

8 MR. STRAIT: If I can just jump in really quick?
9 As the Supervisor of the overall effort for the Title
10 24, the 2019 revision, part of what our standards are
11 doing is we're not restricting the ability of the
12 builders and owners to make those decisions for
13 themselves.

14 MS. WARSHAW: True.

15 MR. STRAIT: So, if somebody were to decide they
16 do not want wireless devices in their house, or they
17 want to disable the wireless protocol or communication
18 that's taking place, they're able to do so.

19 Someone that says I don't believe that these are
20 of a significant risk to me, I'd like to have all this
21 wireless communication, they're able to do so.

22 So, we're leaving that choice up to the people
23 that are affected by that choice.

24 MS. WARSHAW: Okay. And so, is it something
25 more that the FCC would consider, when it comes to human

1 health issues and devices that are wireless?

2 MR. STRAIT: Yes, the FCC would have the
3 authority to regulate emissions.

4 MS. WARSHAW: Yeah, they are all seeming to roll
5 that direction. And even recently I had an AT&T person
6 in my home, discussing my modem, saying that they were
7 going to -- they're going towards wireless. And she was
8 discouraging me from using my wired system.

9 So, it doesn't -- I mean, it kind of seems like
10 we're going to have a choice. But in the case of like
11 records going to CDs, going to iTunes, you know, those
12 kinds of things are things that even the general public
13 kind of accepts and kind of thinks, oh, this is great,
14 this is great, this is great. And sometimes there's
15 little things lost and things that aren't even
16 considered, really, or talked about much. And so that's
17 why I asked these questions.

18 MR. TAYLOR: Sure.

19 MR. STRAIT: Sure, sure. And from our
20 perspective it's just a matter of we don't want to put a
21 law in place that says that someone that wants that
22 can't have it. So, that's kind of the perspective that
23 we have.

24 MS. WARSHAW: Right.

25 MR. TAYLOR: And also, our code is governed by

1 the California Environmental Quality Act, which looks at
2 all sorts of environmental and human health issues, as
3 well. So, there is a look at these things.

4 I think if you go back and look at the analysis
5 of a number of those wireless communications impacting
6 human health, and whatnot, I think there's been
7 determinations made on that. And this code cycle
8 doesn't dig into those in any detail.

9 MS. WARSHAW: Yeah, a lot of the regulations
10 that they've used, some of those are very old, and we've
11 increased electromagnetic frequency so much over the
12 last decade I don't see how we shouldn't keep looking at
13 that. But I'll stop talking. I think you got my gist.
14 I think you know a little bit why I asked. A
15 thermostat, especially, I think of that. My thermostat,
16 I have a little EMS meter, and it's a wired in
17 thermostat, and I can record like a mechanical frequency
18 off of it.

19 MR. TAYLOR: Sure.

20 MS. WARSHAW: It's not something nice to put
21 your head next to. A digital clock records a frequency.
22 It's not a radio frequency, but it's another kind of
23 frequency. So, once you start introducing more, you
24 know, different things, these are things to consider.

25 Some of these are in buildings, you know, where

1 these things are and where the people are.

2 MR. TAYLOR: Yeah, absolutely. Anywhere you
3 have electricity you're going to have the
4 electromagnetic frequency. That's physics.

5 Well, thanks for your comment. If you'd like
6 any more comment on that, please submit it in writing
7 and we'd be happy to look at it.

8 MS. WARSHAW: Okay, thank you. Thank you for
9 addressing it.

10 MR. TAYLOR: You're welcome.

11 There's a question on the chat room, real quick
12 I think I can address it. The question is, "What's the
13 purpose of developing mandatory requirements if the
14 owner or occupant can disable those mandatory
15 requirements?"

16 And I think that's a very important point. It's
17 kind of a core concept in a lot of these standards here.
18 These standards are owner/operator-centric. We are
19 putting restrictions on the way that a building is built
20 so that an owner or operator of that building has the
21 ability to do something that they want to do.

22 We're not requiring anybody who lives in a
23 building to do something, but we are requiring the
24 builder of that building to -- and this is just a
25 general, not related to demand response, but let's say

1 to put insulation in the walls. Because we've proven
2 that that insulation is cost effective. So, an occupant
3 of that building, it would cost a lot of money to go
4 into a building and add insulation to the walls. But
5 when that building is first built, it's cost effective
6 to put the insulation in, in the first place.

7 So, in this context, as far as disabling things,
8 we are giving the owner or operator the ability to do
9 something if they choose to. That's the requirement.
10 We're not requiring the owner or operator of the
11 building to do something at this stage.

12 Okay, I think we are done for the moment, five
13 minutes early. Again, this is a stop in a long journey,
14 so we have a lot more work to do.

15 Please submit your comments in writing on demand
16 response by July 28th.

17 And I guess everybody can go to lunch. And
18 then, we'll be back here at one o'clock, sharp, to start
19 discussing licensed healthcare facilities.

20 (Off the record at 11:55 a.m.)

21 (On the record at 1:02 p.m.)

22 MR. BOZORGCHAMI: All right, good afternoon. My
23 name is Payam Bozorgchami. I'm the Project Manager for
24 the 2019 Building Energy Efficiency Standards.

25 I'm going to start, just because I want to get

1 you guys out of here before traffic gets going and the
2 heat comes in.

3 So, some of you that were here earlier this
4 morning you may have heard this, and I'm sorry I'm going
5 to bore you, but I'm going to have to do it.

6 The first thing, first, restrooms are out the
7 double doors to your left. Our snack bar's on the
8 second floor, if you guys need to grab something to eat
9 or so.

10 In case of an emergency, please don't take off
11 and go home. We'll reconvene across the street, at the
12 Roosevelt Park. And we need to grab a head count and
13 make sure everyone's out. And if not, we're going to
14 have to send our student assistant back to get you.

15 So, today's presentations, if you were here this
16 morning Gabe Taylor, one of our subject matter
17 engineers, here at the Commission, discussed our
18 proposal for the cleanup on demand response.

19 This afternoon we're going to be talking about
20 healthcare and what the roll of healthcare is within
21 Title 24, Part 6.

22 But with that, let me give you guys a quick
23 history of why we're here, how did the Energy Commission
24 start. The Energy Commission started in the 1970s,
25 early '70s, by two Legislators, Warren and Alquist, and

1 that's how the Warren-Alquist Act comes about. They're
2 the two Legislators that proposed to the Governor, at
3 the time Ronald Reagan, to develop the Energy Commission
4 to deal with the energy crisis and environmental impacts
5 that's going to be happening in California.

6 In 1975, when Jerry Brown came into office, he
7 funded and we started the Energy Commission.

8 A couple of the key roles that the -- excuse me,
9 before I say that. Some of the other action plans that
10 were set upon us by the Governor, years after years, is
11 one main issue is we have to get to this so-called ZNE,
12 zero net energy. For a residential building it has to
13 be 2020, which is we've got one code cycle left. This
14 is it, 2019. And for commercial, nonresidential
15 buildings is 2030. And there's also other environmental
16 and energy policies that we have to also abide by.

17 The Energy Commission has other responsibilities
18 than just energy efficiency. We look at research and
19 development, coming out with better energy-efficient
20 measures. We look at alternative fuels, alternative
21 type of transportation. We look at permitting of power
22 plants, anything greater than 50 megawatts, and other
23 areas.

24 How do we do this? Our current policy is to try
25 to reduce power plants, actually try to reduce our power

1 plants, our transmission, make sure that there's a
2 viable way of getting power to homes, so we don't have
3 to go through those blackouts we did in the early 2000s.

4 So, how do we develop the energy codes? The
5 energy codes are developed every three years. Every
6 three years, with the assistance of our utility partners
7 we develop these codes, we present them at rulemakings
8 like this. And the utilities also have pre-stakeholder
9 meetings, where they bring in topics that they're going
10 to fund, that they're going to be proposing to the
11 Energy Commission. And we have pretty much a powwow
12 where we discuss measures and proposals, and see how
13 it's cost effective, and where it's not, and have a big
14 dialogue.

15 The utility partners that helped out for this
16 code cycle was Pacific Gas & Electric, Southern
17 California Edison, San Diego Gas, SoCalGas -- excuse me,
18 San Diego Gas & Electric, Sacramento Municipal Utility
19 District, Los Angeles Department of Water and Power,
20 Southern California Public Power Authority.

21 But in reality a lot of this could not happen
22 without the help of two key people; one being Heidi
23 Hauenstein from Energy Solution and the other being
24 Kelly Cunningham from PG&E, who helped facilitate the
25 communications between the Energy Commission, and the

1 utility staff, and the consultants that work for the
2 utilities.

3 When we develop the codes every three years, we
4 have to go through a vigorous lifecycle cost analysis
5 based on a certain time-dependent value. The time-
6 dependent value is the cost of power, utility. As it
7 fluctuates during the day. It's a little bit pricier in
8 the mid-afternoon, than it is in the early morning. And
9 all that's captured in our lifecycle cost.

10 So, everything that we proposed has to have some
11 sort of savings, both energy and cost.

12 For the 2019 standards, right now we're in the
13 prerulemaking. In the past few months we've been
14 presenting all these measures at the utility level, and
15 now it's the first time it's coming here at the Energy
16 Commission.

17 The measure that you guys are all here for this
18 afternoon, the healthcare facility, and the role that's
19 going to be going into Title 24, Part 6. I think Gabe
20 Taylor's been doing a lot of presentations, a lot of
21 workshops and meetings with your folks, at your level,
22 and at your facilities. But now, I think it's coming
23 here at the Energy Commission as a prerulemaking, prior
24 to going to the formal rulemaking. And the formal
25 rulemaking will most likely start mid-September to early

1 October, where we will present the final measures that
2 we're thinking of for the codes.

3 Then, we go into this 45-day language where we
4 do more of these types of meetings, try to clean up
5 anything that we missed. And then, we go into approval
6 by the Commissioners, and adoption in March of 2018.

7 It seems like a lot of time is there, but
8 there's really not that much time. It's all-hands-on-
9 deck here, at the Energy Commission, to get these
10 measures going forward.

11 Here's some of the earlier prerulemaking
12 scheduled workshops we've had here and some of the
13 topics. After this one, we have three more. We'll have
14 the residential HVAC measures coming up next Tuesday.
15 Then August 22nd, we're going to be discussing solar
16 power and storage and incorporate it into the whole
17 energy design rating.

18 The energy design rating is mainly for
19 residential type buildings at this time.

20 And August 30th, we'll have another workshop
21 here at the Commission, where we will be discussing the
22 proposals for the 2019 CalGreen. That's Part 11 of
23 Title 24.

24 Currently, there's three main websites where
25 we've been keeping all the information at. The first

1 one is the title24stakeholders.com. That's where all
2 the measures, all the CASE Reports is what we call them,
3 that were held, that the utilities funded and have been
4 supported. The Building Energy Efficiency Program
5 website, that's where the -- actually, where the
6 measures that we've been funding ourselves, here at the
7 Energy Commission, like the healthcare facility CASE
8 Report, and the presentations.

9 The last website is key for all you folks.
10 That's where we would like you to submit your comments
11 to, for today's meeting. We're hoping that we get
12 comments in the next two weeks. Hopefully, we get most
13 of these comments by July 28th.

14 And we will be reviewing, evaluating and
15 starting a communication with you folks to make sure we
16 get the right message into Title 24, Part 6.

17 This presentation that I'm doing right now and
18 the one Gabe will be doing shortly will all be posted on
19 our website, hopefully tomorrow, if not by Monday. But
20 we'll that to you guys as soon as we can.

21 Some key contact information. Maxi Shirakh, who
22 in the past was the project manager for the Building
23 Standards, has now become the Technical Lead Advisor on
24 zero net energy and energy design rating, and he's also
25 my advisor on the 2019 development of the Building

1 Codes.

2 There's my contact information. Larry Froess,
3 he's our Senior Mechanical Engineer, responsible for all
4 of our computer modeling programs. Peter Strait is our
5 Supervisor for the Building Standards Development Team,
6 so he's our staff supervisor.

7 Christopher Meyer, I'll get to him shortly. But
8 Todd Ferris is our other Supervisor, who deals with the
9 staff with the software development program.

10 And if you don't like any of us, Christopher
11 Meyer is our Office Manager that you can complain to,
12 and he's sitting there.

13 Any questions? If not, I'm going to hand the
14 mic to Gabe and, hopefully, we'll start here soon.

15 MR. TAYLOR: Good afternoon. My name's Gabriel
16 Taylor. As Payam mentioned, I'm a subject matter expert
17 in the Building Standards Development Office. I'm an
18 Engineer, Mechanical and Material Science by training,
19 with a focus in energy policy and energy systems.

20 And I'm really excited to be asked to project
21 manage the California Energy Commission's effort to
22 extend the Title 24 Energy Efficiency Standards to
23 healthcare facilities.

24 A lot of my family are doctors. I have
25 grandparents, great-grandparents who are doctors and

1 nurses, and physical therapist. And having spending a
2 lot of time in the healthcare industry, in hospitals
3 when I was a kid, following my dad around or my
4 grandparents around. So, I have some familiarity with
5 the passion that is associated with the operations of
6 these facilities. I know that the people who work and
7 operate these facilities believe very strongly in what
8 they do, obviously.

9 I want to assure you that we believe strongly in
10 what we do and we're here to help you. We're not here
11 to force you to do anything that you otherwise wouldn't
12 want to do.

13 So, the job that we have now is to figure out
14 what we should do and to make sure that the code that we
15 write does exactly that.

16 So, I do want to acknowledge Christopher Meyer,
17 who is the Manager of the Building Standards Office, and
18 Peter Strait who is the Supervisor of the Building
19 Standards Development Unit. Christopher's here, Peter's
20 on the phone, I believe.

21 Also, this proposal is a little different from
22 most of the other proposals in this code cycle. This is
23 the only proposal that is solely coming from the Energy
24 Commission. Most of the other proposals were initiated
25 by an outside party, who did a bunch of analysis and

1 they brought a proposal to the Commission to be part of
2 our public process.

3 This proposal was initiated by the Energy
4 Commission and it was developed by Energy Commission
5 staff. In particular, I want to identify Mark Alatorre,
6 who is our Heating, Ventilation and Air Conditioning
7 Expert. Danny Tam, who's our Water Heating, Solar, and
8 Process Energy Expert. Simon Lee, our Lighting and
9 Electrical Power Distribution Systems Expert. Thao
10 Chau, who's also our Lighting Expert. And Michael
11 Shewmaker, who is our Envelope and Fenestration Expert.

12 All of these staff helped prepare analysis, and
13 review the code, and worked with outside parties to
14 develop this proposal that I'm going to present today.

15 In addition, I absolutely want to acknowledge
16 the Office of Statewide Health Planning and Development.
17 OSHPD is clearly the lead State agency for regulating
18 and licensing healthcare facilities and their advice,
19 while we developed this proposal, was invaluable.

20 We are very clearly not trying to step on their
21 toes. OSHPD is the lead agency here. The Energy
22 Commission, however, has authority delegated by the
23 Legislature, and clearing state in the Warren-Alquist
24 Act to propose and implement energy efficiency measures.
25 So, we're here to provide that support to OSHPD, as the

1 lead energy agency for the State of California and as
2 the expert in the area of energy efficiency.

3 The OSPHD Hospital Building Safety Board staff
4 and Management have been very supportive and helpful.
5 They've provided a lot of comments and a lot of advice
6 on where to change the initial proposal. We've gone
7 through a number of iterations here.

8 The Hospital Building Safety Board Energy
9 Management and Conservation Committee, and also the
10 Administrative Process, Code Changes, and Standard
11 Details Committee, we presented an early draft of this
12 proposal to both of those Committees, and accepted
13 comments from them before we published this proposal as
14 you see it today.

15 And just to be clear, the current version of the
16 proposal is the one that's dated June 29th.

17 So, today I'm going to go through three general
18 topics. First, I'd like to give some background on the
19 legal requirements that led us to this proposal. This
20 is gone into a lot more detail in the paper that I
21 mentioned, but I'd like to talk through it a little bit
22 because it can be a little confusing. Particularly, the
23 timeline there because there were some confusions on a
24 number of parties that led us to this position we're in
25 today.

1 Then, I'll go through the proposed changes. So,
2 the proposed changes can be broken down into two
3 separate sections, the changes to code and the
4 exceptions that we're proposing to the existing code.

5 And then, finally, I'll outline the schedule so
6 that you have, hopefully, a very clear understanding of
7 where we are in the schedule, where your opportunities
8 are to participate, and when key dates will happen, when
9 key changes will happen.

10 So first, the legal requirements. So, the
11 original Warren-Alquist Act was adopted in the mid-1970s
12 by the Legislature, in response to the energy crises.
13 And as Payam mentioned, this was legislation that was
14 developed under a Republican Governor, Ronald Reagan,
15 and then was implemented under a Democratic Governor,
16 Jerry Brown.

17 And this legislation created the Energy
18 Commission. And in that legislation it defines
19 nonresidential buildings as buildings that meet these
20 specifications here. So, this is occupancy groups.

21 What this means is that any building which is
22 heated or cooled, and is one of these three occupancies
23 -- or, not one of these three occupancies, is considered
24 a nonresidential building.

25 Occupancy H, in the 1973 Uniform Building Code,

1 referenced here, are hotels, apartments, convents and
2 monasteries.

3 I are dwellings and lodging houses, which is
4 essentially residential.

5 And J are garages, sheds, fences, basically
6 unconditioned spaces.

7 In effect, what this original definition of
8 nonresidential buildings means is that a nonresidential
9 building is anything except a residential building.
10 That's important because that means that in the original
11 code hospitals are considered nonresidential buildings.

12 It was interesting and it's not recorded why,
13 but the Energy Commission, in 1974, implemented our
14 first set of building standards, and appliance standards
15 through 1978 and 1980. In each of these code cycles, we
16 correctly represented hospitals as being part of the
17 scope, part of the standards.

18 We didn't implement specific requirements on
19 them, but they were part of scope, subject to the code.

20 In 1982, there was a change and we do not have
21 clear records of why this change was made, and there's a
22 number of different theories. But suffice it to say
23 that the hospital facilities was excluded from scope in
24 1982. And since that time it's just that error has been
25 carried forward.

1 Over the recent couple of years the Energy
2 Commission legal office and the OSHPD legal office have
3 consulted and determined that this was, indeed, an error
4 and that there remains an opportunity here for a
5 standard.

6 I want to emphasize, though, that this is an
7 opportunity, not some sort of an unfortunate requirement
8 or anything like that. The Energy Commission is the
9 State expert on energy efficiency. Now, OSHPD is
10 clearly the State expert on hospital buildings, and
11 health and safety, and everything associated with that.

12 The Energy Commission is here, as a sister
13 agency, to help OSHPD implement standards that make
14 sense for this community. We are here as a subject
15 matter expert to provide our advice and to, hopefully,
16 support the code that will lead to the most effective
17 and cost effective hospitals that can be.

18 And that naturally leads me into the basis of
19 the code, itself. This is written into the Warren-
20 Alquist Act, itself. That's the code that created the
21 Energy Commission.

22 The Building Standards, the Energy Efficiency
23 Building Standards are required to be cost effective.
24 That is part of the law and that's one of the most
25 fundamental. It's the first analysis we do in any

1 proposal for new building standards. Is it cost
2 effective? Does it save more cost than it costs to
3 implement?

4 Frequently, this is important because many
5 energy-efficiency measures are much less expensive to
6 implement at the initial construction of the building.

7 An obvious example would be if you put
8 insulation into the walls of a building, it's much
9 cheaper to put it in there when you first build that
10 building than it is to try to add it after the building
11 is completed.

12 I lived in a house for many years here, in East
13 Sacramento that was built in 1947, and it had no
14 insulation in the walls, absolutely no insulation in the
15 walls. And when I did a major remodel, I actually
16 proved it. I pulled the walls apart and there was
17 sheetrock, and air, 2-by-4s with air in between, and tar
18 paper, and external siding. There was no insulation in
19 there.

20 That's because in 1947 there was no requirement
21 for the builder to put insulation in the house and
22 natural gas was relatively cheap. So, the builder
23 didn't spend the money to put the insulation in there.
24 And for the next 60 plus years the inhabitants of that
25 house were burning gas in that house to heat the house,

1 and it was just going out through the walls.

2 So, these measures, the Energy Commission has
3 done the analysis and have determined that a certain
4 level of insulation is cost effective in those walls,
5 and so we put that into code to require that the builder
6 put that in there, because we know that the owner or
7 occupant of the house will benefit.

8 They have to be technically feasible. This
9 should be obvious, but it's amazing that you get a lot
10 of proposals that aren't actually technically feasible.
11 So, we have to prove it's technically feasible. The
12 standards do not implement speculative, or theoretical,
13 or test type of technologies. They have to be proven,
14 and tried and true in the industry, and you have to have
15 many different manufacturers providing the technology
16 before they can be implemented into the code.

17 This is important. I've hinted at this a number
18 of times here, but it's something I'll probably come
19 back to a number of times or I definitely will come back
20 to a number of times through my presentation.

21 The code, the Energy Code is owner/operator-
22 centric. In the same way, or a similar way to the
23 Health and Safety Code, and many other types of code
24 focus on the occupant of a space and make sure that the
25 space does not harm them. The Energy Code focuses on

1 the owner or operator of the building to ensure that
2 they have the services and they have the features that
3 are cost effective and that are beneficial to them.

4 So, this is generally a requirement that's put
5 on the builder of that space.

6 And also, our code is designed to be flexible.
7 This was added many years ago, where there are a number
8 of strict requirements, but there are a whole host of
9 measures that can be traded off for other measures. And
10 the Energy Commission has worked with outside parties to
11 develop software that helps to do the analysis necessary
12 to determine what exactly can be traded off. So,
13 there's a significant amount of flexibility within the
14 code.

15 So, this is the basis and design of the Title
16 24, Part 6 Energy Efficiency Code, itself.

17 Now, I'd like to move on to the basis of the
18 proposal for licensed healthcare facilities. We started
19 our discussions with the Office of Statewide Health
20 Planning and Development. We wanted to coordinate with
21 them closely and make sure that they were aware of
22 everything we did. And our proposal, our goal,
23 ultimately, is to seek their endorsement. And we're
24 still working on that, but we anticipate getting that
25 before we're done with this process.

1 So, this is absolutely something that is
2 coordinated with OSHPD and will be done with them as
3 closely as possible. We're they're sister agency and
4 we're here to help.

5 The remainder of the proposal is based on the
6 Facilities Guideline Institute guidelines for licensed
7 healthcare facilities, for hospitals, that specify that
8 compliance with ASHRAE 90.1 is a target for licensed
9 healthcare facilities.

10 The Energy Code, itself, is modeled off of 90.1
11 in many ways. And generally speaking, we take 90.1 and
12 we make it specific to California and sometimes a little
13 more strict in cases where it is cost effective to do
14 so.

15 I think one excellent example of how we do this
16 is in the case of climate zones. ASHRAE 90.1 specifies
17 7 climate zones in the continental U.S., five of those
18 in California. So, this means that San Diego,
19 Bakersfield, San Francisco, Redding are all in the same
20 climate zone.

21 Title 24, Part 6 separates California into 16
22 different climate zones. This is especially important
23 in the coastal zone where moving just a few miles inland
24 can drastically change your local climate.

25 Why is this important? It goes back to the cost

1 effectiveness of the code. If the climate is different,
2 then the level of insulation, the level of various
3 different energy efficiency measures, your HVAC design
4 could change. If the ambient humidity is different,
5 then the HVAC design might change. All of these factor
6 into the cost effectiveness of the requirements that we
7 propose.

8 So, it's critical that the standards that are
9 available outside of California be made specific to
10 California so that we can ensure that there is not a
11 requirement that is not cost effective. Or, to put it
12 another way, we can ensure the requirements that we
13 propose are cost effective.

14 So, that's the background. That's the legal
15 background to the code. Now, I'd like to go into a
16 little more detail about what exactly we're proposing.

17 The proposals are all based off of the 2016
18 code. This is the 2019 code cycle, so we've taken the
19 2016 code and we've marked it up, and said here's how
20 we'd like to change it.

21 There are six different sections that we're
22 proposing to change. Here are the six sections, scope,
23 definitions, systems and equipment, design and
24 installation, lighting and electrical, performance and
25 prescriptive, additions and alterations.

1 These are not the actual titles of those code
2 sections. I've summarized them here to make it easy to
3 discuss and understand.

4 In each of these sections we're proposing
5 exceptions. In my presentation here, the exceptions are
6 highlighted in green so you can easily identify where
7 we're proposing to create exceptions to the code.

8 In our initial discussions with OSHPD, there was
9 a lot of concern about creating a shock in the industry.
10 you know, if we all of a sudden impose an enormous
11 amount of new requirements it's going to be very -- it
12 could be a bit of a shock to the industry.

13 So, we wanted to take an iterative approach. We
14 wanted to take kind of a baby steps approach. In this
15 first iteration we are not proposing any new
16 requirements on healthcare facilities. We simply looked
17 at the existing code. We carefully went through and we
18 determined places where there was a question about
19 whether or not they would be cost effective, or whether
20 or not a section of code could have an impact on health
21 and safety.

22 In those sections where we identified a
23 potential for lack of cost effectiveness or a potential
24 impact on health and safety, we simply created an
25 exception.

1 So, what remains are sections of code that we
2 believe, and that we've vetted through a number of staff
3 at OSHPD, and others, and received at least a level of
4 comfort to discuss this with a larger audience.

5 We believe these sections are both cost
6 effective and will not have any significant impact on
7 health and safety.

8 So, I'm going to go through each of these six
9 sections in a little bit more detail. And all of these
10 are discussed in much more detail in the hardcopy
11 proposal.

12 So, first, the scope and definition. This is
13 really the key major change we made to the code. In
14 Section 100 there is a section that excludes occupancy
15 group I from the scope of the Title 24, Part 6 Code.

16 We, based on the legal analysis that I mentioned
17 earlier, are changing that to include occupancy group I,
18 with a specific exception for I-1, I-3 and I-4.

19 So, that's occupancy group I-2 is now in the
20 scope of the standards and is subject to all the
21 subsequent sections of the Energy Code.

22 We're also adding a definition for healthcare
23 facility. And this is referring back to the OSHPD Code.
24 So, "Any healthcare facility is a building or portion
25 thereof that is licensed pursuant to the California

1 Health and Safety Code Division 2, Chapter 1, Section
2 1204 or Chapter 2, Section 1250.”

3 So, this is kind of the core change we made to
4 the code. Everything else flows from here.

5 We’re also making a minor revision to our code.
6 We had, previously, a definition for a medical and
7 clinic building, which was sort of convoluted definition
8 that was intentionally trying to skirt the occupancy
9 group I definition. It’s obsolete, now, that we have
10 defined healthcare facility, so we’re deleting that
11 definition.

12 Systems and equipment. These are large systems.
13 These are large package chillers. These are boilers,
14 large HVAC systems. This section of the code governs
15 the efficiency of these systems. Generally, it places
16 guidance or restrictions on the manufacturer of these
17 systems. It’s very likely that facilities currently
18 built in the State of California already comply with
19 this section of code, since it’s considered normal
20 practice.

21 It’s broken down into a number of different
22 sections and we’re specifically proposing some
23 exceptions to the water heating section.

24 Water heating temperature controls, in our code
25 we’re proposing an exception that would simply reference

1 the Plumbing Code for healthcare facilities, which is
2 already current practice, as far as we understand, in
3 industry. So, hopefully, the minimum energy efficiency,
4 the tank and recirculation system, and insulation
5 requirements for water heating systems to have isolation
6 valves to allow for cost effective maintenance, and a
7 prohibition on pilot lights. These all should be
8 efficiency standards that exist in the code that the
9 industry is already complying with.

10 This was a topic that we had a number of
11 discussions with. And at the end of the day, after
12 extensive discussions, we're proposing an exception for
13 healthcare facilities. The Energy Efficiency Code
14 requires a small portion of a rooftop be set aside for
15 potential future solar.

16 It provides a number of exceptions. It only
17 applies to buildings that are three stories or less.
18 It's only 15 percent of the roof. It's a fairly small
19 portion of the roof. It allows for that solar-ready
20 area to be on an adjacent parking structure. And it
21 provides exceptions for heliports, or vehicular traffic
22 of sorts.

23 So, there are a number of existing exceptions in
24 the code. And I believe that the existing language in
25 the code is sufficient to provide the flexibility that

1 healthcare facilities need. But after extensive
2 discussions with stakeholders, we believe that an
3 exception to the whole section is necessary, so
4 healthcare facilities will not need to consider solar-
5 ready requirements.

6 It is something to consider, if you are in the
7 development industry. To consider, if you have a
8 parking structure adding, or at least making solar-ready
9 the top of that parking structure or potentially adding
10 the space, or considering the potential future need of
11 the owner of that facility for photovoltaic. Since the
12 cost of photovoltaic is dropping rapidly, the value of
13 photovoltaic in a potential future micro grid at that
14 facility, to support islanding and local reliability
15 could be very significant.

16 So, it's something to consider. But we're, at
17 this time, not putting that requirement on the industry.

18 The design and installation section governs a
19 whole host of systems within the building and how those
20 are designed and installed. Anything where you have
21 ventilation, or space conditioning, if you have water
22 heating, fluid transfer, or refrigeration, the roof and
23 wall insulation, and project commissioning all falls
24 under this section, Section 120 of the Code.

25 It turns out that effectiveness of many of these

1 systems is heavily dependent on the way the systems are
2 designed and the installation done in the first place.

3 So, if you have, for example, wall insulation
4 you can have a specified product from a manufacturer,
5 and a design, and a blueprint, and everything. But if,
6 at the end of the day, the worker who is installing that
7 insulation in the wall does it even slightly
8 incorrectly, it can significantly harm the effectiveness
9 of that system. So, this section covers those systems.

10 We're proposing a bunch of exceptions in this
11 section, especially for ventilation, HVAC systems, and a
12 number of other systems, which I'll go into detail here.

13 So first HVAC. Zone control, heat pump use and
14 fan and pump efficiency. These are obvious efficiency
15 opportunities. The Energy Commission reviews the
16 efficiency of all of these systems regularly and we
17 propose what we believe to be cost effective working
18 with many different standard-setting bodies.

19 So, we are here to offer our expertise on this
20 topic to say, here, look, this is the most efficient,
21 cost-effective level of system for the demand that you
22 need.

23 This doesn't specify anything regarding what you
24 need. You specify what you need in terms of ventilation
25 rates or anything like that, and then we say, okay,

1 here's the most efficient level of device that's
2 available and the design of that system.

3 We're providing some exceptions to demand
4 shedding, to demand response for HVAC systems. For
5 obvious reasons, in healthcare facilities you don't want
6 to have any demand shed, necessarily have any demand
7 shed.

8 For shutoffs and resets if you have, for
9 example, a patient care space where you have a shutoff
10 or a reset in the event of non-occupancy, if you have a
11 patient who's not mobile there could be a problem where
12 a sensor doesn't notice that, so we're providing an
13 exception there.

14 And the 5-degree dead band, this is a plus or
15 minus 2.5 degree. It's to prevent cycling of HVAC
16 systems. But we know that in a healthcare facility it
17 requires, frequently, tighter bands of control. So,
18 we're leaving that up to you.

19 The pipe insulation section is it's well
20 established, the cost effective level of insulation on
21 piping and process equipment. So, we're leaving that
22 untouched.

23 This also includes fire resistance of pipe
24 insulation and protection of that pipe insulation when
25 it's in an exposed situation so it doesn't get damaged

1 by working around it.

2 For parking garages, and this is part of the
3 covered processes section which covers a number of
4 different systems. Parking garage ventilation, for
5 example, boilers, escalators, elevators. We're
6 proposing some exceptions for compressed air systems.
7 We do believe there are a number of specifications in
8 our compressed air systems recommendations, which are
9 valuable, but we're proposing an exception for med gas
10 and healthcare systems to give additional flexibility.
11 But we hope that the developers will look at the
12 requirements we have there and consider if any of them
13 apply to your facility.

14 Elevators we have, again, occupancy sensors to
15 control both lighting and ventilation. And we're
16 proposing an exception there for ventilation because we
17 know that ventilation rates are critical in the
18 healthcare environment.

19 Now, I love this picture right here. This right
20 here, you can see "get well soon" written on this I beam
21 here. This was a hospital construction zone that was
22 right next to a children's ward, and there were all
23 these kids in the windows and stuff. And so the workmen
24 climbed up there and they would wave to the kids. And
25 one day they wrote "get well soon" because they had

1 received -- they knew there were some kids there that
2 were in pretty critical situation. So, a number of
3 families commented that it meant a lot to them.

4 Insulation, I think, is one of the most obvious
5 sections of the code that apply to hospitals. The
6 design of insulation, both roof and walls, and the
7 durability of that insulation, the installation of that
8 insulation, all of this is the result of decades and
9 decades of robust research and science.

10 And we, at the Energy Commission, are experts on
11 this and we have been doing a lot of research on this,
12 and we believe we can provide recommendations to the
13 industry here. This not only benefits the thermal
14 environment and provides a more stable thermal
15 environment but it also improves the acoustics of the
16 space. And it's just critical that, based on the
17 climate zones that I mentioned earlier, that you get
18 that right level of insulation in a space to achieve a
19 cost effective built environment.

20 The lighting and electrical section, there's
21 less topic headers in this section, but a lot of content
22 here.

23 We're proposing exceptions to three different
24 sections here. The controls, in particular sign
25 controls and power distribution systems. Specifically,

1 indoor controls. This is a really interesting section
2 of the code. There's been a lot of development in
3 controls for indoor lighting.

4 This goes back to something I mentioned earlier
5 in the kind of design guide principles of the code. The
6 goal is to give the owner or occupant of a space the
7 tools that they need to do what they want. To operate
8 their space in a cost effective and optimal manner.

9 So, these controls here don't require the owner
10 or occupant to do anything, they simply require that the
11 building have these controls so that the owner or
12 operator can do these things.

13 In particular, area controls, which is just an
14 on/off switch. Believe it or not, just a few decades
15 ago there were buildings that were built without on/off
16 switches. The only way to turn the lights off was at
17 the circuit breaker. And there were many, many
18 buildings that were built and the lights pretty much
19 stayed on 24/7. It was just cheaper that way to build
20 the building. It's a lot of wiring, and a lot of
21 switches, and hardware, and stuff to turn the lights off
22 and they didn't think it was worthwhile.

23 So, our code requires that you have an on/off
24 switch in each space. And this is not just energy
25 savings. If you are in a space and you went to turn the

1 lights off, for other than energy savings, you know,
2 just because you want to sleep or something like that,
3 which is particularly appropriate potentially in a
4 hospital, necessary.

5 Multi-level, this is something that is becoming
6 more and more available. As we move away from
7 fluorescent technology and towards LED technology, which
8 is a significant energy savings, it also gives us the
9 ability to dim. Multi-level lights under fluorescent
10 technology usually meant a two stage, and you have to
11 have a high and a low, or something like that. Or,
12 something like this.

13 But with the LED lighting now we can dim. So,
14 providing the functional devices in the space to allow
15 you to dim the lights is a requirement in the code.

16 Automatic shutoff, simply if nobody's there, the
17 lights should turn off. There are exceptions in the
18 code, as I mentioned earlier, for patient spaces. But
19 in a lot of areas in the hospital, if nobody's there,
20 the lights should turn off.

21 And then automatic daylighting. This is
22 exciting new technology because we have new
23 architectural designs for many spaces, including
24 hospitals that include a lot of daylighting. A lot of
25 windows and a lot of appropriately designed windows that

1 have low E, so they don't let in the heat, but they let
2 in the light. And here we have a sensor that senses the
3 amount of light in a space and it simply dims the
4 lights. Hopefully, if it's designed right, it's
5 imperceptible to the occupants. But it dims the lights
6 so that it takes advantage of that ambient light that's
7 coming in through the windows.

8 I think I just went through all of my slides
9 here so, yeah, I'll highlight the exceptions here.

10 So, in the area controls we're making exceptions
11 for psychiatric and secure areas. Obviously, if you
12 have occupants of a space and you don't want them to be
13 able to control the lights we're going to allow you to
14 put the light switches in a remote location, a secure
15 location.

16 For the multi-level no exceptions. That's
17 simply a dimmer or a bi-level switch. It's a very
18 inexpensive technology and it gives the owner or
19 occupant additional control.

20 Automatic shutoff, pretty simple.

21 Patient care spaces, as mentioned earlier, if
22 you have a space where patients could be unconscious or
23 unable to be noticed by the sensor, then you want to be
24 able to have an exception for that.

25 I got too excited. I went through all my slides

1 there without flipping the pages.

2 So, just to summarize the exceptions in the
3 lighting and electrical sections, three major
4 exceptions. In psychiatric and secure areas we're
5 making an exception. The automatic shutoff in patient
6 spaces and this is both in the lighting and the HVAC
7 section.

8 And then a flat exception for outdoor lit signs.
9 Hospitals and healthcare facilities are generally 24/7,
10 so having a shutoff for outdoor lit signs is not
11 necessary.

12 Two more sections here. The performance and
13 prescriptive section. The performance and the
14 prescriptive section is where the code allows
15 flexibility. It's especially important because many
16 designers are aiming for a level of energy efficiency
17 above the standards.

18 And we know that healthcare facilities in the
19 State are frequently built well above what we specify
20 here in the standards. It's important to emphasize that
21 these standards are a minimum of energy efficiency.

22 If you're attempting to earn accreditation, or
23 you're going for zero net energy, or just going for some
24 other form of hyper-sustainability, or increased level
25 of energy efficiency and environmental sensitivity, you

1 will likely exceed most or all of these standards.

2 Our standards represent a minimum level that
3 we've determined is absolutely cost effective given
4 currently technology. And so, we're providing this
5 guidance to the industry here.

6 The performance and prescriptive section allows
7 for some flexibility when you're designing your
8 building. So, if you want to go way above code in one
9 area, we'll let you sacrifice some in another area, if
10 it makes sense. And we have rigorous software to help
11 you do those calculations and determine if that makes
12 sense or not.

13 And this is a well-developed industry in the
14 State for commercial buildings, large commercial
15 buildings. This is a very understood process for
16 calculating both the performance and the prescriptive
17 approach.

18 This is how we get flexibility into the code.
19 The Section 140, the performance and prescriptive
20 section, refers back to a lot of the previous sections.
21 And it gives you the opportunity to calculate the energy
22 budget for your space and then perform tradeoffs and
23 calculate a proposed energy use for a proposed space.
24 And then you compare the two and you iterate. So, it
25 allows you to kind of change, make little changes in

1 your design in order to achieve a certain target.

2 And again, this is based on cost effectiveness.

3 We've done a lot of analysis to determine what is
4 absolutely cost effective, and providing you the support
5 tool to allow you to focus on what's really important to
6 your design, the function of your design, health and
7 safety, and all the other things that are core to your
8 goals.

9 I put together a little flow chart here of this
10 so, hopefully, this makes a little more sense. So, we
11 have a series of mandatory requirements there on the
12 top. And then you have two options. You can either do
13 a prescriptive approach, which simply says here's what
14 you need to do, you do it, you're done.

15 And in a lot of facilities, if you're going
16 above code, you probably have already done everything so
17 it's pretty straight forward going that route.

18 Or, you can do a performance approach where you
19 identify areas where you want to go above the code and
20 areas where you want to go below the code. You
21 calculate your proposed budget and you determine if your
22 proposed energy usage is less than the budgeted energy
23 usage. If it's not, you iterate. You come back to the
24 performance tradeoffs and you maybe change a little bit
25 here and there, and you iterate until you meet the

1 budget. And that's how you determine if you're in
2 compliance with the Energy Code.

3 The goal here is flexibility. It's to give the
4 designers and the developers the opportunity to create
5 the space that meets their end goals, as best as
6 possible for their stated goals.

7 The final section I want to identify is the
8 additions and alterations section. As I mentioned to
9 the HBSB committees, this is an area where we especially
10 would like some advice. This section is all on major
11 additions, alterations, and repairs to a facility.

12 It references back to the previous sections. It
13 includes all of the proposed exceptions that I've
14 already highlighted. But it does not include any new
15 exceptions at this point.

16 So, we need -- we believe that it should apply.
17 We believe that it is cost effective. It has been
18 proven cost effective. Additions and alterations are
19 major changes to a facility and we take into account all
20 the iterations you can think of. You know, we're not
21 going to require you to change wiring if you're not
22 already opening the walls, for example. And we take
23 into account asbestos, and we take into account health
24 and safety, and all those issues.

25 But we do have a set of recommendations here.

1 We believe they should apply. We believe they're cost
2 effective. And we hope you'll take a look at them and
3 let us know what you think.

4 And we absolutely understand that this is a
5 sensitive topic, so we're just asking for some help
6 reviewing the code here, in this section, and ensuring
7 that it is what we intend it to be.

8 So, that's the proposal, a summary of the
9 proposal rather than what we have contained in the document
10 that we've published. It's on the website, along with
11 the agenda and the notice for this meeting.

12 And if you have any additional questions or
13 comments about it, please feel free to contact me even
14 before the public comment.

15 I want to remind you that we're in the
16 prerulemaking phase. In fact, that takes me into my
17 next section, which is the schedule. Emphasize here the
18 Title 24 Energy Efficiency Rulemaking process is a
19 three-year schedule.

20 This current cycle is the 2019 cycle. The
21 previous was 2016. The next is 2022.

22 I think to think of it as a subway car. So, we
23 have the 2019 subway car's moving in. We have to load
24 everything up onto that subway car. We send it on its
25 way. And the 2022 is going to move in and we'll start

1 loading that one up.

2 So, if you have ideas or concerns that don't
3 make it onto the 2019, they will absolutely be
4 considered in the next cycle, or the one after that, or
5 the one after that.

6 This is an iterative process. We're trying to
7 make something that works the best it can for the
8 residents of the State of California.

9 So, the 2019 cycle started in 2016, with
10 research and outreach. We initially contacted the
11 Office of Statewide Health Planning and Development, and
12 a number of other healthcare facility stakeholders in
13 that time. And we're continuing to reach out to anybody
14 that is interested in this rulemaking.

15 We're currently in the middle of the
16 prerulemaking phase. So, this is a relatively informal
17 phase of the process. We have a formal rulemaking phase
18 that starts late this year. So, it actually starts in
19 November, but it really goes into 2018 here.

20 And then, in 2020, so that's January 1st, 2020
21 the standards go into effect.

22 To break that down, in the prerulemaking phase
23 we have the draft code change proposals put out in May.
24 It actually wasn't published in May. We provided it to
25 the Hospital Building Safety Board first, and discussed

1 it with OSHPD staff. We wanted to get the obvious stuff
2 taken care of before we put it into public circulation.

3 Today we're at the staff workshop. This is
4 relatively informal. This is just the staff. You're
5 just talking to the Energy Commission staff. You know,
6 we don't have any Commissioners up here.

7 We want your ideas. We want your concerns. And
8 we'll take those into account.

9 The deadline for comments this round is July
10 28th. So, that's in about two weeks. Anything you can
11 get to us in written comments we'll consider
12 immediately.

13 But our rulemaking won't start until November.
14 So, if anybody wants to have additional discussions, or
15 you'd like me to brief some other stakeholders in your
16 group, that wasn't here, please let me know. We're
17 happy to help in any way we can. We want to get as many
18 of the stakeholders involved as possible. We certainly
19 don't want to surprise anybody.

20 We absolutely believe that these standards will
21 be helpful to the industry. But if you have any
22 concerns, we want to hear about it.

23 And then in November we'll start that formal
24 rulemaking. For those of you -- I'm assuming most of
25 you are familiar with a formal rulemaking process as it

1 stands in the State of California. This is a
2 requirement on agencies, like the Energy Commission or
3 OSHPD, to adhere to certain legal requirements when
4 implementing new regulations.

5 This is because at some point in the distant
6 history there were agencies that implemented
7 requirements and didn't tell anybody about it, and that
8 created some problems. So, now, we have laws that
9 require you to have a public process.

10 The Energy Commission is very proud of our
11 public process in a number of different ways.

12 So, the schedule in 2018, we have the 45-day
13 rulemaking will end in January. We'll receive comments
14 from the public. We're required to respond to those
15 comments.

16 Then we'll issue revisions, as necessary, to
17 that rulemaking. And this includes not just the rules
18 for licensed healthcare facilities, but there are rules
19 for all sections of the code.

20 If all goes well, the Energy Commission
21 Commissioners will vote and adopt this proposal in May.
22 And then we'll move it over to the Building Standards
23 Commission for approval.

24 Throughout this process here we plan to work
25 closely with the Office of Statewide Health Planning and

1 Development and to coordinate with their staff, as
2 necessary. We are very dedicated to the coordination
3 with our sister agency here. They are clearly the
4 experts on healthcare facilities and we want to respect
5 that.

6 I mentioned this a second ago, but this is
7 something that the Energy Commission's very proud of.
8 We have a very public and open process. The Energy
9 Commission has a number of different responsibilities,
10 including licensing new power plants in the State of
11 California. And we have extensive public workshops for
12 those facilities, in the local communities.

13 For the Building Standards we're reaching out to
14 as many of our constituents as possible for this
15 rulemaking. Again, we don't want to surprise anybody
16 and we're very much looking forward to your input to
17 make sure that this is the best possible proposal going
18 forward.

19 I already mentioned this, coordination,
20 coordination, coordination.

21 I've mentioned this a couple of times, but I do
22 want to emphasize, as I said, I have some background
23 with my relatives working in the healthcare industry.
24 The focus is on health and safety first. Energy
25 efficiency is about efficiency, not conservation. There

1 are places for conservation. You know, that's putting a
2 sweater on in the wintertime. And we all do it rather
3 than cranking the heat up as hot as you want it to go,
4 because it saves you some money. But that's up to you.

5 In this context in particular, in the healthcare
6 environment in particular, it's about efficiency.
7 Efficiency is where you get the same or better quality
8 of service for your investment. So, when you have high
9 quality LED lighting that provides better quality,
10 higher spectrum light, better controllable light than
11 the incumbent fluorescent technology, for example,
12 that's one of the requirements in the code.

13 When you provide an optimal level of insulation
14 in the walls, as I've discussed probably a little bit
15 too much, that's what's in the code to provide the
16 comfort, to provide the cost effectiveness to the
17 occupants of that facility.

18 When you specify pumps that are optimally-
19 efficient pumps, and you specify a level of insulation
20 on hot water piping so that you don't lose energy into
21 the space and then have to pump that back out with your
22 air conditioning system.

23 These are all examples of energy efficiency.
24 They do not degrade the quality of service. In fact,
25 they improve the quality of service. And they improve

1 the comfort, and they improve the health and safety of
2 the occupants, and they save money, and they save
3 energy. That's the goal, that's the primary goal of the
4 code.

5 Here are some links that, hopefully, you might
6 find useful. These will be in the presentation, which
7 will be posted on our website by tomorrow or so.

8 In particular, the second one down, the Building
9 Energy Efficiency Program, Title 24, and the third one
10 down, the docket for comments. If you click on that
11 link there, the docket for comments, it will take you to
12 our e-filing page. This is a page where you can either
13 upload a document or you can directly type in your
14 comment it's very, very simple. It walks you through
15 submitting comments.

16 So it should be, if you can type up a document,
17 on a computer, then you can upload it right here to
18 comment on this.

19 Again, the deadline is July 28th. But I also
20 want to emphasize that's not a deadline. That's just
21 the date that we're putting out there for this informal,
22 prerulemaking phase. There will be additional
23 opportunities to collaborate and to comment after that,
24 as well.

25 Here's contact information for a number of the

1 people in our office. Again, I'm the lead staff person
2 for this effort to extend Title 24, Part 6 to licensed
3 healthcare facilities.

4 Payam is the lead staff for the overall 2019
5 Building Standards cycle.

6 Peter Strait is the Supervisor of the Standards
7 Development Unit.

8 And then, Christopher Meyer is the overall
9 Manager of the entire office, which includes not just
10 the standards development, but the implementation, and a
11 number of other topic areas.

12 At this time that's the conclusion of my
13 presentation for today. And I'm hoping that this has
14 elicited some questions in some of you or maybe some of
15 you have some comments. And we will dedicate the rest
16 of the day to questions and comments.

17 If you have any questions, please just come up
18 to the podium here, identify your name and affiliation
19 for the court reporter.

20 And please, also if you have questions, feel
21 free to come up today, but also submit them in writing
22 if you can, so that we can answer them a little more
23 thoroughly over the coming weeks.

24 MR. GALL: Hi, my name is Glen Gall. I'm the
25 Regional Supervisor for the OSHPD Building Standards

1 Unit. And we have worked with the Energy Commission,
2 and Gabe and company, and we thank you all. I think
3 your efforts have been great.

4 One thing you showed on your slide is the
5 Facilities Guidelines Institute's guidelines for
6 hospital construction. That book, I think may be in an
7 effort to produce more publications and sell more books,
8 has divvied itself up into two books as of the last
9 cycle, and in this current cycle is going to three
10 books.

11 They're addressing hospital construction.
12 They're addressing what they refer to as residential
13 construction, and that's the current, second existing
14 book. And the third one is outpatient clinic
15 facilities.

16 When you look at the facility types, even though
17 they're I occupancies, even though they're under OSHPD
18 jurisdiction, skilled nursing facilities tend to present
19 a lot more like, let's say, multi-family housing, or
20 more of a residential environment.

21 And I don't know, because I'm not recalling, how
22 deeply you chose to maybe separate those things within
23 the proposal. But I'd make a suggestion that you do.
24 And primarily because the systems that are utilized, the
25 ways the facilities operate, and the care that's

1 delivered in those facilities is much more akin to a
2 residential setting as opposed to a typical
3 institutional setting, and they're different animals.

4 So that said, you may in fact be able to get a
5 lot farther with the skilled nursing facilities in terms
6 of your current standards and as they apply to similar
7 facility types. And I'll tell you that that particular
8 industry is in desperate need of updating, upgrading,
9 saving bottom line money, even though there might be an
10 upfront expense, because their margins are so slim and
11 their facilities are really at the end of their useful
12 life.

13 The vast majority of them were built in the 60s.
14 And you lived in East Sac, I still live in East Sac, and
15 I remember those days with my 1912 Craftsman. You know,
16 it makes no sense to continue to operate in the manner
17 that the facilities were originally constructed because
18 it's just a loser. But thanks, Gabe.

19 MR. TAYLOR: You're welcome. Thank you very
20 much for the advice and the collaboration, both before
21 now and going forward.

22 Hopefully, the definition that we have for
23 healthcare facilities here will cover healthcare
24 facilities in the nature you're talking about. The
25 definition for the nonresidential buildings is

1 essentially everything except for residential. So, if
2 these buildings are not classified as residential, then
3 they should be covered by the code already.

4 And one of the concerns that I would have is
5 that if they do not fall under this definition of a
6 healthcare facility, then they may be subject to
7 requirements that they shouldn't be.

8 MR. GALL: They are a healthcare facility.
9 They're a licensed healthcare facility.

10 MR. TAYLOR: Okay.

11 MR. GALL: And they are an I-2 occupancy.

12 MR. TAYLOR: Okay.

13 MR. GALL: The difference being is that the care
14 delivered in those facility types is much, much
15 different. One you're doing what I call hard
16 healthcare. And those are the hospital -- that's the
17 hospital setting.

18 In the skilled nursing setting, you're typically
19 doing, I won't say board and care, but it's a much lower
20 level of clinical care, mostly. That's where people
21 live. They live there because they need ongoing
22 nursing. But you're not doing a lot of procedures, as
23 you'd see in a hospital setting. So, it's very, very
24 different.

25 And we actually have varied requirements for

1 ventilation of those facilities in terms of the way they
2 operate, acknowledging that. When you look at the FGI
3 guidelines for residential healthcare facilities,
4 they're a lot more attuned to 90.1 than the hospitals,
5 which look at multiple other requirements, multiple
6 other ASHRAE requirements that apply specifically
7 because they're doing hard healthcare. Like, ASHRAE 170
8 is an example.

9 And that particular document is segregating as
10 well on the ventilation end because there's that
11 acknowledgement that it's not a one-size-fits-all. One
12 is care and maintenance, a lot of times are and
13 maintenance at end of life. Or, I shouldn't say end of
14 life. To be sensitive, it's where you go to live when
15 you need additional assistance with your health
16 maintenance.

17 Whereas the hospital you're in and out,
18 hopefully.

19 MR. BOZORGCHAMI: Glen, would it be something
20 similar to a two-story hotel or apartment complex?

21 MR. GALL: A two-story hotel but, typically
22 again they're one story, they're single-story.

23 MR. BOZORGCHAMI: Yeah, but it could be
24 something similar to like a multi-family.

25 MR. GALL: It's similar, yes.

1 MR. BOZORGCHAMI: Okay, a wood frame and et
2 cetera.

3 MR. GALL: A lot of them are wood frame, single
4 story, or a light metal frame. Some of them don't
5 necessarily utilize central air handing systems. They
6 have a bunch of package units on the roof, distributed
7 around. But they're a little bit of a different animal,
8 I think they take a different -- they should take a
9 different look in terms of the energy perspective.

10 MR. TAYLOR: Okay, thanks.

11 MR. GUILTY: Hi, Arash Guity with Mazzetti,
12 Mechanical Engineer, Chief Energy Engineer.

13 We decided to perform an exercise and just do an
14 analysis of one of the hospitals that we currently had
15 in design to just compare it against the proposal. This
16 hospital, which will remain nameless to protect the
17 innocent, did not have a direct goal of sustainability,
18 other than just looking at lifecycle costs of the
19 proposed measures. Since we understood that there isn't
20 a CBEC Con software currently available to do a
21 performance-based analysis, at least given the exact
22 measures in the proposal, we just did a prescriptive
23 comparison. Just to look at, based on the design that
24 we started in 2014 and we're going through the design
25 right now, we're meeting 90, 95 percent of all these

1 things already from a prescriptive basis. And these are
2 things that are really just best practices.

3 This hospital is currently tracking an EUI of
4 about 190, which certainly is not at the upper end of
5 the spectrum in terms of percentile.

6 We have another hospital we designed in
7 Washington, which is also an acute hospital that's
8 operating at 112 right now.

9 So just as a comparison, we don't see anything
10 that onerous in here and it's really including a lot of
11 the things that we're already putting in our designs.
12 It's not changing any of the compliance that we have
13 with code from a health and safety perspective here.
14 So, just wanted to share that and just giving an example
15 of the exercise we went through to just show that this
16 is not something that should be seen as a shock in the
17 industry. These are things that we're already doing in
18 our designs.

19 MR. TAYLOR: Thanks. That's good to hear, yeah.

20 MR. ZOMMER: Bill Zommer with Sutter Health.
21 And I wanted to first applaud your interaction with
22 OSHPD. We fully support that. I think that's the right
23 call.

24 The second thing I wanted to say, though, is the
25 remodeling part of this I think you guys have dialed

1 into something that really is going to be important and
2 probably very difficult. I would bet on it. About 90
3 percent of our work is remodeling. So, I would
4 encourage you to take all the time that it takes to get
5 that right. Because our bread and butter, our garden
6 variety projects are always remodeling and it's a wide
7 range of projects from replacing radiology equipment,
8 how is that going to work?

9 How about if you're doing an ADA project? How
10 about if it's a seismic upgrade project?

11 I think it needs to be clear how each one of
12 those kinds of remodel projects are going to be handled
13 within your document.

14 So, the last thing about that, you know, in my
15 humble opinion the building codes are set up to show you
16 how to design new buildings and remodeling is kind of an
17 afterthought that's jammed in there. Don't do that with
18 this one, please. Thank you.

19 MR. TAYLOR: Thank you.

20 MR. CARPENTER: Good afternoon, Scott Carpenter.
21 I'm a mechanical engineer, a former Hospital Building
22 Safety Board Member.

23 Just I downloaded the stuff you had on the
24 website and I just had a quick question. You're talking
25 about compliance forms change summary and we talk about

1 the mechanical ventilation and reheat form having to be
2 changed. And then, also, the fan power consumption
3 changed. Yet I see in the document, itself, those
4 sections are excluded or there's exceptions on it.

5 So, can you clarify that? Why do we have new
6 forms if those are not required to be done?

7 MR. TAYLOR: Let's see.

8 MR. ALATORRE: Yeah, I'm Mark Alatorre with the
9 Energy Commission. So, I believe the proposal is 2
10 point for ventilation, you know, to OSHPD's amendments
11 to the Mechanical Code.

12 So, the documentation would probably reflect
13 that or maybe we would construct a document that would
14 show for the plan examiner, for who's doing the plan
15 check what the minimum ventilation is according to the
16 Mechanical Code, something to that effect.

17 MR. CARPENTER: Okay. I mean that's all we
18 require right now. They already check the ventilation
19 calculations. It's really the reheat one that I'm more
20 concerned about. I mean, are we just going to now start
21 documenting all the reheat portions for every --

22 MR. ALATORRE: No, I believe there's an
23 exception for the reheat.

24 MR. CARPENTER: I agree, there's an exception in
25 here for the reheat. But you're stating here, under

1 your forms summary, that a new version of the mechanical
2 ventilation reheat form will be created. So, I just
3 don't want to do redundant work.

4 MR. ALATORRE: Right.

5 MR. CARPENTER: If we're already showing Table
6 4-A calculations for compliance, why fill out a form for
7 reheat.

8 MR. ALATORRE: No, that's a good comment. So in
9 some instances in our forms we'll have a block where
10 it's just identify where on the plans to find the info.
11 So, you wouldn't have to redo all the calculations, you
12 would just specify there checked the mechanical
13 schedule, or checked the ventilation workshop, or
14 whatever it is that you put on the plans.

15 It's not meant to be overburdening or, you know,
16 do it twice.

17 MR. CARPENTER: Okay, thank you.

18 MR. ALATORRE: Sure.

19 MR. TAYLOR: I believe we have a few comments on
20 the phone while everyone here in the room is thinking
21 about what they want to say next.

22 MR. WICHERT: David Baker, I'm going to go to
23 you. If you're ready to go, you're unmuted, now.

24 MR. BAKER: Okay. This is David Baker with
25 Prime Healthcare. I've just got a couple quick

1 questions. One, we do a lot of energy projects that are
2 hospitals and I'm just kind of curious about -- we rely
3 heavily on some of the State and utility incentives that
4 are provided. And I'm wondering if these codes all
5 become mandatory, do you anticipate those incentives
6 going away for us?

7 MR. TAYLOR: I'm going to have Kelly Cunningham,
8 from PG&E, try to answer that question.

9 MR. BAKER: Okay. Hello, Kelly Cunningham,
10 Pacific Gas & Electric. And I can't speak on behalf of
11 the programs team, but I can connect you for a
12 discussion with the healthcare leads from that team.
13 Historically, Title 24 does play a strong role in
14 sunseting incentive programs that are now considered
15 the norm.

16 But, you know, as our incentive programs evolve,
17 as the legislative environment evolves there may be
18 opportunities that may increase or decrease, so that's
19 why I can't say for certain today.

20 But I can provide my contact information and we
21 can have a further discussion about that. And I think
22 it's a really good talking point for me to take back to
23 my colleagues inside PG&E, and our Statewide Codes and
24 Standards Team, which includes all of the IOUs. Thank
25 you.

1 MR. TAYLOR: Yeah, thank you, Kelly. This is
2 fundamentally a policy question between the CPUC and the
3 utilities. So, it's not something that the Energy
4 Commission can comment on at this time.

5 MR. BAKER: Okay. And there was one last
6 question, if I may. Do you know, is there going to be a
7 crosswalk done from like the current and proposed 2019
8 Code changes? Like some type of a matrix or anything
9 like that?

10 MR. TAYLOR: You mean between 2016 and 2019?

11 MR. BAKER: Correct.

12 MR. BOZORGCHAMI: There will be. This is Payam
13 with the California Energy Commission. There will be
14 and the express terms will show the cross outs,
15 underlines, and cross out of the 2016 Standards, that
16 language that's no longer valid versus the underlined or
17 the new language that will be proposed.

18 That information will be -- that presentation
19 will be given hopefully later in September or early
20 October.

21 MR. BAKER: Perfect, thanks.

22 MR. BOZORGCHAMI: And hospital will be a part of
23 that discussion, presentation.

24 MR. BAKER: Okay, good deal. Thank you.

25 MR. BOZORGCHAMI: While we're looking at the

1 computer, are there any more comments from the folks in
2 this room? No.

3 (Pause)

4 MR. TAYLOR: We received a comment in the chat
5 online about ventilation rates. It's a very detailed
6 comment referencing a number of tables.

7 There are a number of exceptions for
8 ventilation, very broad exceptions for ventilation in
9 this proposal. But if the commenter would please submit
10 their comment in writing, it will give us a chance to
11 respond to it in writing, in much more detail.

12 If the commenter would like to actually comment
13 now, just let us know and we'll unmute you.

14 Is there anybody else in the room who would like
15 to comment? I don't want to hold everybody here longer
16 than necessary, but I absolutely want to give everybody
17 a chance to chime in.

18 I'll take this opportunity just to say, once
19 more, the real purpose of this workshop today is to
20 reach out to all the stakeholders, to all of you and any
21 of your colleagues that you know, who may be interested
22 in this, please let them know that we're starting this
23 proceeding. I want to hear from everybody who's
24 interested, have an opportunity to discuss the proposal
25 with you, and give you an opportunity ask any questions

1 you have, provide comments, analysis, whatever. We're
2 really dedicated to the public process here and I'm here
3 to help.

4 So, please contact me directly. If you don't
5 have time to speak today submit the written comments, or
6 just e-mail me, or call me and we can discuss it.
7 Again, I'm happy to set up a briefing for you, or your
8 organization, if you feel it's necessary. And that's
9 about it.

10 All right, we've got one more. I knew if I
11 talked long enough somebody would want to speak.

12 MR. CARPENTER: Okay, this is Scott, again. I
13 just wanted to let, you k now, the hospital industry and
14 OSHPD k now that, you know, a standard commercial office
15 building you do Title 24 and it's great. It's all good
16 stuff, we're all about that. But it's a lot of work to
17 do the modeling, or the prescriptive, the forms, the
18 package. You know, dotting the I's, crossing the T's,
19 it's a lot of work. So, I hope OSHPD's aware of that
20 for their inspection time. Or, for their review time,
21 number one, because there's costs associated in time.
22 And there's costs associated with the designers, the
23 modelers.

24 And then, when you get to the IORs, who are
25 already so busy doing the inspections on everything in a

1 hospital, there's a lot more work. Well, not a lot, but
2 there's a significant amount of more I's to dot, and T's
3 to cross. So, as long as we're all aware of it, you
4 know, yes, there's added costs. There's a good reason
5 for doing it, but just want to make sure it's not a
6 surprise to anyone out there.

7 MS. BELAIR: And this is Louise Belair with
8 TK1SC and also HBSB Board Member.

9 To Scott's point, the commissioning aspect, too,
10 will bring a very new perspective. Some hospital
11 systems are already implementing commissioning, but some
12 of them have not so far, so there will be an impact
13 creating an OPR. You know, creating a basis of design.
14 Some of those terminologies may not be as well known in
15 the hospital industry.

16 And I have another question. I'm curious about
17 the rationale to exclude, to exempt from economizer.
18 This is a common practice in the hospital for new
19 buildings, so I was just trying to understand what was
20 the rationale here.

21 MR. TAYLOR: I think Mark Alatorre's coming up
22 to answer that.

23 MR. ALATORRE: Yeah, this is Mark Alatorre with
24 the California Energy Commission. When we were
25 developing our recommendations we were real conscious of

1 impacting the indoor environment. And we currently have
2 exceptions for -- I believe the exceptions we currently
3 have are for if the environment had specific community
4 requirements or things of that nature, you're already
5 exempt.

6 We felt that hospitals, you know, or to use
7 Glen's term, the heavy healthcare, you know, would be a
8 specific environment where if you brought in too much
9 outside air you might be having to de-humidify it more,
10 or something of that nature. So, we thought it was
11 appropriate it.

12 Happy to revisit it, you know, or maybe not
13 exempt them from water economizing if they have a chill
14 system.

15 MR. TAYLOR: Yeah, just to clarify, an exception
16 is our code is not a prohibition. It simply says it's
17 not required. As I mentioned with, for example the
18 solar ready section, we hope that the industry will look
19 at our requirements, even though it's not required, and
20 consider implementing some or all of those suggestions.
21 WE believe they're cost effective. We believe they make
22 sense in this type of a building, but we're providing an
23 exception at this stage to ensure that no unintended
24 consequences happen.

25 MR. JACOBSEN: Yeah, this is Eric Jacobsen. I'm

1 the Senior Architect with OSHPD's Building Standards
2 Unit.

3 And I'm noticing that there's provisions for a
4 performance-based approach to responding to the
5 documentation of your energy efficiency. The modeling
6 that's going to be associated with that, paired with the
7 amount of exemptions and exclusions for a lot of the
8 ventilation, which is maybe the largest component of the
9 model, can you explain a little bit how that's going to
10 work when you've got this huge portion of the model that
11 really doesn't apply, I guess, to some of the standards
12 that are with exemptions?

13 MR. TAYLOR: I would generally have to refer
14 that to our model development office. Payam might be
15 able to answer some.

16 MR. BOZORGCHAMI: Yeah, Larry Froess would be
17 the one to answer this question, but I'll try. When I
18 had this discussion with Larry a while back, what he
19 informed me is that what we would do is we will provide
20 another category within the program, CVEC Com hospitals.
21 Within the background, a lot of the exceptions will be
22 already captured.

23 So, more than that, I'm going to have to discuss
24 it with Larry. I apologize.

25 MR. TAYLOR: It's a great question, though, and

1 please submit that in writing if you get a chance. And
2 then, it's on the record, now, so we'll definitely go
3 upstairs and talk to Larry about it.

4 That is definitely part of the implementation
5 phase. It's something that we'll have to consider, and
6 consider very careful, obviously, yeah.

7 All right. Well, I guess going once, going
8 twice? Again, this is not the last opportunity to
9 comment. I really appreciate everybody taking the time
10 out of your busy schedule to join us here today, to
11 consider this very important regulation change.

12 We are here to help and to listen to any
13 concerns you have and this is going to be another,
14 almost another year developing this proposal. So,
15 please, don't use that as an excuse to wait to
16 participate, but please let us know what you think.

17 And with that, I think we're done for the day.
18 Thank you, everybody.

19 (Thereupon, the Workshop was adjourned at
20 2:23 p.m.)

21 --oOo--

22

23

24

25

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 15th day of August, 2017.



Eduwiges Lastra
CER-915

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 15th day of August, 2017.



Barbara Little
Certified Transcriber
AAERT No. CET**D-520