

DOCKETED

Docket Number:	17-BSTD-01
Project Title:	2019 Building Energy Efficiency Standards PreRulemaking
TN #:	221096
Document Title:	Transcript of 08/22/2017 Staff Workshop
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	9/8/2017 9:44:55 AM
Docketed Date:	9/8/2017

APPEARANCES

COMMISSIONER

Andrew McAllister

ENERGY COMMISSION STAFF

Payam Bozorgchami, Project Manager, 2019 Building Standards

Maziar Shirakh, ZNE Technical Lead & Advisor to the 2019 Building Standards Staff

Christopher Meyer, Office Manager

Bill Pennington, Deputy Division Chief, Efficiency and Renewable Energy Division

Bruce Wilcox, IT

CALIFORNIA PUBLIC UTILITIES COMMISSION

Simon Baker, Deputy Director Energy Division, California Public Utilities Commission (CPUC)

Shannon O'Rourke, Analyst

PUBLIC

George Nesbitt, HERS Rater

Bob Raymer, California Building Industry Association

Nehemiah Stone, Stone Energy Associates

Randall Higa, Southern California Edison

Pierre Delforge, Natural Resources Defense Council (NRDC)

Greg Mahoney, City of Davis, representing CALBO

Berman Obaldia, representing Asian Chamber of Commerce

Marshall Hunt, Pacific Gas & Electric Company, Codes and Standards

Olaf Lohr, Sonnen

APPEARANCES (CONT.)

Lather Kenneth (phonetic), Sonnen

Francesca Wall, Tesla

Kelly Knudsen, California Solar Energy Industries
Association

Joe Cain, National Solar Energy Industry Association

Daniela Garcia, Southern California Gas Company

Jon McHugh, McHugh Energy

Brandon DeYoung, DeYoung Properties

Jeff Spies, Senior Director of Policy, Quick Mount PV

Brandon Carlson, Vice President, New Day Solar

Brandon Smithwood, California Director, Solar Energy
Industries Association

Barry Hooper, San Francisco Department of the Environment

INDEX

	<u>Page</u>
Welcome	
Payam Bozorgchami, California Energy Commission	5
Introduction to the 2019 Standards Update	
Payam Bozorgchami, California Energy Commission	5
Staff Presentation on Proposed Standards For Part 6 and 11:	
Maziar Shirakh, California Energy Commission	8
Public Questions and Comments	59
Lunch	
CPUC Staff Perspectives on Grid Integration Costs: DNV-GL Study of Residential ZNE	
Simon Baker, CPUC	141
Public Questions and Comments	172
Community Solar Options	
Christopher Meyer	191
Bill Pennington	193
Public Questions and Comments	211
Closing Remarks	244
Adjournment	244
Reporter's Certificate	245
Transcriber's Certificate	246

P R O C E E D I N G S

9:02 A.M.

SACRAMENTO, CALIFORNIA, TUESDAY, AUGUST 22, 2017

MR. BOZORGCHAMI: Good morning, everyone.

My name is Payam Bozorgchami. I'm the Project Manager for the 2019 Building Energy Efficiency Standards.

So, thank you for coming. We're going to start real quick by doing some housekeeping rules, information. The bathrooms and the drinking fountains are outside the double doors to your left. The snack shop is upstairs if you guys get hungry. And in case of an emergency or if you guys hear the fire alarms going, we'll reconvene at the Roosevelt Park, and we'll take a head count, and we'll decide what to do then.

Usually, I do the whole presentation of how the Energy Commission started and so forth, but this time I'm going to cut it really short just because we've got a lot to cover today, and I want to get you guys out before the afternoon traffic really hits. A lot of you folks I know came from the Bay Area, so it will be crucial to get you guys going.

Our discussions today, Mazi Shirakh,

1 who's our Senior Project on ZNE/EDR will be
2 presenting most of this morning.

3 Mr. Simon Baker, the Deputy Director of
4 the Energy Division, of the California Public
5 Utilities Commission will provide a quick
6 presentation.

7 Then Bill Pennington and Christopher
8 Meyer, my Office Manager, will provide
9 information on community solar options.

10 Due to time, we may change the schedule a
11 little bit. Mr. Baker may, depending on how time
12 moves, may do the presentation the first thing,
13 right after lunch.

14 So, we're leaving that open right now and
15 apologize if that's going to cause an
16 inconvenience for anyone.

17 Our 2019 Standards process so far, right
18 now we're in August so we're getting the Utility
19 CASE Reports coming into the Energy Commission
20 for our final rulemaking -- I shouldn't say final
21 rulemaking, but to get us ready for doing our
22 express terms presentations that will be
23 happening later in September.

24 So, and then the 45-day language will be
25 late November, early December.

1 So far we've gone through, as the
2 schedule shows we have had quite a few of our
3 prerulemaking workshops. And right now, being
4 August 22nd, we're going to be taking about solar
5 storage and energy design ratings as our main
6 topic for today.

7 And on August 30th, next week, we'll be
8 presenting the proposals for what we're going to
9 present for Title 24 Part 11. This is the
10 CalGreen Codes.

11 Today's presentations will not be placed
12 under the 2019 Title 24 Utility-sponsored
13 stakeholders. Those will be all the
14 presentations that were done previously, prior to
15 this workshop. All of our CASE Reports and
16 everything is located there.

17 This presentation, today, will be posted
18 in our Building Energy Efficiency Program, on
19 that link. There you will find all of our
20 topics, all of the schedules, and any nuance of
21 any new measures that come forward.

22 And please submit your comments to our
23 comment log, on the lower link, by September 1st,
24 for this workshop.

25 Some contact information; the key person

1 you really want to listen to and communicate with
2 is Mazi Shirakh and Christopher Meyer. This is
3 their topic. Mazi drove all night last night to
4 get her from Oregon. He had to go see the
5 eclipse. And he's here, how do they say it,
6 bushy-eyed -- I don't even know how to say it.

7 So, with that, any questions?

8 So, if Mazi could hand me his
9 presentation, we could start with him.

10 (Pause)

11 MR. SHIRAKH: Good morning. I'm Mazi
12 Shirakh. I'm going to be talking about the
13 proposed 2019 Standards as it relates to a few of
14 the energy efficiency measures and also our ZNE
15 strategy.

16 But before I do that, as Payam mentioned
17 I was driving all night last night. I actually
18 got home about three o'clock. Went to Corvallis,
19 Oregon to watch the eclipse and I wanted to share
20 a couple of snapshots of the eclipse with you.
21 And this was an awesome experience.

22 I mean, even 99 percent is not the same
23 as totality. I mean, this was totally cool. And
24 you can see the audiences' applause. You know,
25 there's like clapping, and cheering, and people

1 crying. So, it was really worth the trip.

2 What's also interesting is when I came
3 home that this is my PV generation hourly for
4 yesterday. And guess when the eclipse happened
5 here in Sacramento? There's definitely --

6 (Off-mic comment)

7 MR. SHIRAKH: What's interesting is like
8 when it's at 50 percent the human eye cannot tell
9 the difference, but the solar panels can. Every
10 photon counts.

11 So, I'm sure ISO's graph shows pretty
12 much the same thing. Yesterday there was
13 probably a big dip on the grid.

14 So, this presentation is going take a
15 while. I'll try to go through this as quickly as
16 possible. There's four main sections. In the
17 first section we're going to be talking about the
18 proposed ZNE strategy, what it is, how we arrived
19 here, and explain what Energy Design Rating is,
20 the EDR.

21 Then I'll get into some of the slides
22 that E3 has prepared for us, for cost
23 effectiveness and, in particular, the Net Energy
24 Metering, NEM requirement and how it impacted our
25 decision for where we've arrived.

1 I'll talk a little bit about the Reach
2 Codes, you know, how our tools are going to
3 enable local governments and beyond-code programs
4 to meet their goals.

5 And also, I'll show you a few snapshots
6 of CBECC-Res Tools and how you can use that for
7 compliance with Part 6 and Part 11.

8 The policy drivers for ZNE, you know,
9 it's been in the making for about ten years, now.
10 It's been a decade. It started out back in 2008
11 with a joint CPUC/CEC Action Plan, which was
12 endorsed by both agencies to encourage or have a
13 goal for ZNE, for residential buildings by 2020
14 and nonresidential by 2030.

15 There was also -- I guess 2008 was a big
16 year for ZNE. Another CPUC California Long-Term
17 Energy Efficiency Strategic Plan, the California
18 Air Resources Board's Climate Change Scoping
19 Plan, and also the 2007 and later iteration of
20 IEPR also supports the ZNE strategy.

21 And this goal also has support from our
22 current Governor Brown, and also the previous
23 Governor Schwarzenegger.

24 So, when this all started a decade ago it
25 was a simple goal, relatively. And the goal was

1 to make the building envelope and building
2 features, and systems as efficient as possible.
3 And then, put some amount of PV on the roof that
4 would displace the annual site energy of the
5 building in TDV terms. Presumably, that included
6 natural gas.

7 So, that was the goal, but since then
8 there's been a lot of changes. We've learned a
9 few things and there's been new development so,
10 you know, we have to consider those.

11 And some of those might be, you know,
12 what we learn is that reality is always more
13 complicated and more nuanced than what we
14 imagine.

15 Some of the developments include the 50
16 percent RPS and large-scale PV development on the
17 grid. That definitely has an impact on
18 compensation rules and how we arrived at this
19 decision.

20 Also, large-scale utility deployment of
21 PVs and, to a lesser extent, building-based,
22 rooftop-based have lowered the value of
23 additional electricity around midday. You know,
24 we've heard about the duck curve and all that.
25 So, that also impacts our decisions for ZNE.

1 And Net Energy Metering Rules, or NEM,
2 that's basically -- that was our guiding line,
3 and lifecycle costing, and time-of-use schedules,
4 so compensation to the homeowner. So, we have to
5 consider all of these as we develop our
6 recommendations.

7 Some of the problems, you know, we
8 identified is that NEM rules and most ZNE
9 definitions they treat as if the grid is vast
10 storage where you can over generate in part of
11 the day, or part of the year and then use it at a
12 later time.

13 In reality, the grid has some storage
14 capability, but it's very limited. So, if you
15 don't use that over generation often what happens
16 is you have to pay Arizona to take it from us.
17 So, we'd like to avoid that scenario as much as
18 possible.

19 Electrification is an important strategy
20 that, you know, moves us towards ZNE homes and
21 low-carbon emissions. But electrified homes,
22 all-electric homes also require a much bigger PV
23 system because their electric load is larger.
24 So, that makes the grid harmonization strategies
25 even more important for us to realize our

1 environmental benefits, and also benefits to the
2 homeowners.

3 And although ZNE is a goal, it is a goal.
4 What is the rule or the law is the NEM energy
5 metering rules and lifecycle costing. So, we
6 have to operate within those confines to move
7 towards our ZNE strategy.

8 So, to sum it all up grid harmonization
9 must be coupled with customer-owned PV systems to
10 bring maximum benefits to the grid, the
11 environment, and the homeowner. And the
12 strategies we've developed here, you know, we
13 think will encourage that.

14 And how do we define grid harmonization
15 strategies? Basically, these are all strategies
16 that would maximize self-utilization of the PV
17 generation, the output, and minimize those
18 exports back to the grid, which could be
19 problematic.

20 And there's some examples here like
21 battery storage, demand response, thermal storage
22 and EV integration, especially for nonresidential
23 buildings.

24 So, we've set seven goals for 2019
25 Standards. The first is to increase building

1 energy efficiency cost effectively. And, you
2 know, I have some examples of some of the
3 measures we're considering.

4 And the benefit of that, you know, energy
5 efficiency reduces the cost to the homeowner. It
6 also makes it possible to put up a smaller PV
7 system to get to the same ZNE goal.

8 And so, the second goal is to make
9 progress towards the ZNE goal, again within the
10 confines of NEM and lifecycle costing. This is
11 another way of saying that Part 6 is an important
12 tool to meet the ZNE goals, but it's not the only
13 tool. So, to get to ZNE, you need to do more
14 than just Part 6. It will make a significant
15 contribution but it's not going to get you all
16 the way there, again because of these limits, you
17 know, of the NEM and lifecycle costing.

18 We would like to promote self-utilization
19 of the PV generation by encouraging demand
20 flexibility and grid harmonization strategies.

21 Number five is to provide an independent
22 path for compliance for both all-electric homes
23 and mixed-fuel homes. This is to facilitate all-
24 electric homes and heat pump water heating which
25 has benefits for carbon reduction.

1 And number six is to do all of this in a
2 cost-effective manner and in a way that has a
3 benefit cost ratio to the homeowner that's
4 greater than one.

5 And number seven is to provide the tools
6 and the path for above-code programs to be able
7 to get to low EDR or full ZNE. These would be
8 mostly local ordinances or some builders, you
9 know, who want to build ZNE communities.

10 And, you know, we think we're on track to
11 actually meet all seven of these goals.

12 So, beyond this code cycle our goals
13 would be to actually extend the seven goals that
14 you saw on the previous slide to high rise,
15 multi-family and nonresidential buildings, and
16 which we really haven't addressed at all.

17 You know, we have had a smattering of
18 talks about these buildings but this hasn't been
19 our focus.

20 Improve integration of demand flexibility
21 and grid harmonization strategies and perhaps
22 making some of them prescriptive requirements as
23 the costs reduce and performance improves.

24 And consider EV integration into the
25 standards. Again, this is a great opportunity

1 for nonresidential buildings to actually avoid
2 sending large amounts of electrons back to the
3 grid in midday, when there's excess generation.

4 So, our goals for 2019 Standards,
5 basically is number one to increase envelope
6 efficiency, and then have an appropriately sized
7 PV system. And I'll explain in a minute what I
8 mean by appropriately sized PV system.

9 And then, encourage grid harmonization.
10 And there you see some examples that builders may
11 employ to meet some of these goals. In the lower
12 left is a heat pump water heater. You know, this
13 is a home automation technology here. And, of
14 course, up here might be some type of electric
15 storage or thermal storage.

16 This is the famous or the infamous duck
17 curve. This is the Cal-ISO graph and everybody
18 is familiar with this. I'm not going to try to
19 explain it. But what is interesting is that the
20 solutions that Cal-ISO has identified pretty much
21 line up with the strategies I just described.

22 Target energy efficiency, increasing
23 storage and demand response, and de-carbonization
24 of transportation and that's basically EV
25 integration. So, you know, we're not

1 incompatible with the Cal-ISO's goals in this
2 regard.

3 Those of you who have been involved with
4 the building standards, you know we take
5 lifecycle costing and cost effectiveness
6 seriously. We actually require or made it a
7 requirement for ourselves to only recommend
8 measures that are beneficial from lifecycle
9 costing perspective. Whether it's energy
10 efficiency measures or renewables, so we treat
11 both the same.

12 And for generation we're using NEM rules
13 with a change. NEM compensates -- the current
14 NEM, you know, that was approved by the CPUC in
15 2016, I believe, has three compensation goals.
16 Behind-the-meter, self-use is compensated at full
17 retail.

18 Hourly exports are compensated at what we
19 call NEM-adjusted retail, those non-bypassable
20 charges which makes it a little bit less than
21 full retail.

22 And then, for over-generation they use
23 net surplus compensation, which is a very small
24 amount, about three or four cents.

25 So, for our analysis we actually made it

1 a little bit more conservative. And that is for
2 hourly exports, instead of using NEM-adjusted
3 retail we're using avoided cost, which is about
4 half of what NEM-adjusted retail would be.

5 So, I have slides that will explain that
6 a little bit better.

7 So, for the first time we're proposing to
8 have PV requirements for new construction, low-
9 rise residential buildings. And there's an
10 equation here which is if somebody wants to do
11 compliance prescriptively, which is very uncommon
12 for new construction, but we have to have a
13 prescriptive path.

14 So, don't get too hung up on this. This
15 is a multiple regression equation. This is a
16 curve fit and it's got some components here, and
17 there's going to be some look-up tables. And it
18 will get you the right size of PV for your size
19 of home in the climate zone that you are.

20 So, that's all I'm going to talk about
21 this. This is going to be posted on the web.
22 You can, you know, look at the details. But
23 again, there's going to be a prescriptive way of
24 complying with this and this is the equation, and
25 this is going to be coupled with a look-up table

1 that you can plug in, you know, for these
2 coefficients here, A and B.

3 We're also providing a series of
4 exceptions. This is going to be the first time
5 we're proposing to have PV requirements. We'd
6 like to be a little bit cautious and we know
7 there's going to be situations where exemptions
8 may be warranted.

9 So, what are these exceptions? There are
10 five of them here. One would be addressed where
11 existing barriers extend to where the dwelling
12 exists. You know, you could be this is an
13 infill. You could have adjacent buildings that
14 are basically limiting solar access and all of
15 that. Or, there's going to be hills, you're
16 going to be building a house in an existing
17 neighborhood with redwoods and all that. So,
18 there's going to be exceptions for that.

19 Number two is to allow some variance for
20 Climate Zone 15. Climate Zone 15 is our most
21 severe climate zone and the PV sizes, as I'll
22 show you later in the presentation, can get
23 rather big. So, you know, we're basically
24 providing some flexibility for Climate Zone 15 to
25 make sure that we don't have a requirement that

1 may not -- you know, the PV system may not fit on
2 the roof.

3 Number three is reduce PV size for
4 single-family homes with three stories. Again,
5 because you have a single-family with three
6 stories, you know, the roof is going to be a
7 smaller size than the single-story or two
8 stories. So, there may be limited solar access
9 on that roof. So, you know, we're allowing an
10 exception for that.

11 Number four is to address dwelling unit
12 plans that were approved by the planning
13 departments prior to January 1. That's the
14 effective date, January 1, 2020. And there could
15 be a situation where, you know, the planning has
16 been in progress for some time but the permit
17 hasn't been pulled but, you know, the plans are
18 there.

19 And so, we're recognizing that some of
20 these developments may fall within that grey zone
21 so, you know, we're going to provide an exception
22 for that.

23 And the last one is to allow a reduced PV
24 size if it is installed in conjunction with a
25 battery storage system. There's a dynamic here

1 in the standards that allows you to do tradeoffs
2 for the PV size, not only against energy
3 efficiency, but also against battery storage and
4 other demand flexibility. So, this exception is
5 taking care of that flexibility.

6 We're also stretching the energy design
7 metric as a tool to our compliance. So, I'm
8 going to spend a little bit of time explaining
9 how the EDR or Energy Design Rating Tool works.
10 Basically, it compares the building that you're
11 building against, you know, standard reference.
12 In this case that's the reference buildings of
13 the 2006 IECC.

14 So, if you build a building that performs
15 exactly as the 2006 IECC, you get a score of 100.

16 So ZNE, then, by definition will be the
17 score of zero. Most buildings are going to fall
18 someplace in between here.

19 With the 2016 Standards, the EDR score is
20 in the mid-fifties. With the proposed 2019
21 improvements to the building envelope, we're
22 going to be in the mid-forties. And then, if we
23 include the contribution of the PV system, we'll
24 end up with an EDR score in the mid-twenties.
25 So, that's where we're going to stop with Part 6.

1 So, energy design rating has three
2 components, again, an EDR level of efficiency
3 that's based on the 2019 efficiency standards,
4 proposed standards. And then we're going to have
5 an EDR contribution from the PV system that it's
6 sized to displace the home's annual kilowatt
7 hours.

8 So, again, this is probably a good time
9 to explain what our PV sizing requirement is, as
10 it's explained on this slide, in the red text.

11 The requirement, the prescriptive
12 requirement is going to be a PV size for each
13 home, in different climate zones, that is just
14 large enough to displace the home's annual
15 kilowatt hours.

16 And in most climate zones, as I'll show
17 you later, it's going to be between 2.7 to around
18 a 4-kilowatt system. It will be larger than that
19 in Climate Zone 15.

20 So, that's the PV size that we're
21 recommending. And the reason for that is, you
22 know, that's actually the most cost effective, as
23 I'll show a little bit later.

24 And then what we do is we subtract the
25 contribution of the PV system from step two, from

1 the EDR score from step one and that will be one
2 final EDR.

3 So, as part of the efficiency EDR we're
4 proposing some improvements to the building
5 envelope. A high-performance attic that was
6 introduced back in 2016, we're proposing to
7 increase that level from the current R-13 to R-
8 19, or thereabouts.

9 For high-performance walls, we're
10 proposing the U factor to be improved to a range
11 of between .043 to .046. The current requirement
12 is .051. It generally requires 2-by-6 walls,
13 with about an inch and a half of continuous
14 insulation on the outside.

15 A slight improvement to window U factor
16 and SSGC, another big change there. And also
17 making QII, quality insulation installation a
18 prescriptive requirement. That's actually a
19 significant change.

20 And then we'll establish an EDR rating
21 based on these features that can only be met with
22 efficiency features alone. And that means the
23 current PV tradeoff against high-performance
24 attics and walls is proposed to go away. So, the
25 PV by itself cannot be used to trade away those

1 features.

2 Then we'll calculate the EDR contribution
3 of the PV system. Again, based on a size that
4 displaces annual kilowatt hours in each climate
5 zone, and then we'll subtract that from the
6 efficiency EDR for one final target EDR.

7 Why use EDR? EDR provides many
8 advantages. It's sort of in line with our
9 performance standards and all the performance
10 tools that we have developed. And what it does
11 is it provides a target for the builders, but it
12 allows the builders to actually get to that
13 target any way they wish. So, they're not set to
14 one set of prescriptive requirements, they can
15 get there however they want.

16 And, for instance, they can use more
17 efficiency to install less PV to get to the same
18 target EDR. They can even put like high-
19 performance glazing. You know, the windows are
20 getting better, even triple-paned windows are
21 getting better and cheaper, and so that may
22 become an option to install.

23 Or, the buildings may even choose to put
24 in like energy efficiency appliances, or air
25 conditioning equipment, and furnaces that are

1 much higher than federal minimums. We cannot
2 require that in the standards, but builders are
3 totally free to do that. And by doing that, they
4 can downsize the PV system or move the EDR closer
5 to the target.

6 They can also take advantage of grid
7 harmonization strategies, battery storage,
8 thermal storage, demand response, demand
9 flexibility. Battery storage with advanced
10 controls provides a huge credit. And again, they
11 can use that to either downsize the PV system or
12 move closer to a target EDR with the same PV
13 size. I'll have some examples of that.

14 And EDR also provides a convenient tool
15 for beyond code programs. As I mentioned, you
16 know, the cities and counties could identify a
17 lower EDR target than Part 6 requires. They
18 could have an EDR target of zero, five, ten,
19 whatever they wish.

20 This is a screen shot from an output
21 screen from the CBECC-Res. And this shows how
22 compliance must be demonstrated. There are three
23 boxes here. This first one is the EDR of
24 standard efficiency. So, this is the EDR target
25 that the building must meet using energy

1 efficiency features, alone. So, your proposed
2 EDR must be equal or smaller than this.

3 So, in this building that I've modeled,
4 it's slightly more efficient than the standard
5 design.

6 Then the second target is EDR of minimum
7 required PV plus flexibility. So, this would be
8 the contribution of your PV system plus battery
9 storage, and other demand flexibility, demand
10 response. So, your proposed EDR must be equal or
11 greater than that.

12 And then, we combine the two together in
13 this final EDR. So, there, your final must be,
14 again, equal or less.

15 So, for compliance you have to look at
16 two different numbers, the final EDR and the
17 efficiency EDRs. They must be equal or smaller
18 than their respective standard design.

19 I also want you to take a look at this
20 column here. And this is going to be relevant to
21 a slide I'm going to show a little bit later.

22 Up here, this is a 2,700 square foot home
23 in Climate Zone 12 here, in Sacramento. Up here
24 what we have are budgets for space heating, space
25 cooling, and IAQ, and water heating. Look how

1 these numbers compare to plug loads.

2 So, you know, even when you look at the
3 not-so-efficient referenced building, you'll
4 still see the same trend, but it's definitely
5 more pronounced here. Which means over the years
6 we've done a hell of a job making our regulated
7 loads more efficient, to a point that plug loads
8 are actually our biggest loads in our homes, at
9 least in most climate zones.

10 Remember those numbers because I'm going
11 to come back to it.

12 Again, we'd like to have to parallel
13 prescriptive paths, one for all-electric homes
14 and ones for mixed-fuel homes. And the reason
15 for that is that, you know, we don't want to
16 disincentivize construction of all-electric
17 homes. You know, we'd like to have two equal
18 paths so builders can go either way.

19 And for all-electric paths, you know, of
20 course they have to use heat pump water heaters
21 and we're finding that in NEEA Tier 3 heat pump
22 water heaters, in many cases they can actually
23 meet the standards requirement.

24 (Off-mic comment)

25 MR. SHIRAKH: If it's a quick question,

1 George.

2 MR. NESBITT: Yeah. So, are we going to
3 have two separate packages, again? We used to
4 have multiple packages for prescriptive
5 compliance and that used to include one for all-
6 electric homes that had higher insulation
7 requirements. And then, we went to one package,
8 no-electric home.

9 Are we going to go back to two packages?

10 MR. SHIRAKH: There's different ways we
11 can do that, George. One is to basically have
12 the same Package A, with some footnotes where we
13 allow -- you know, because when you do all-
14 electric homes you can replace your gas furnace
15 with a heat pump water heater and, you know, it's
16 all cool, it's all even. So, the difference is a
17 heat pump water heater.

18 If you use a very basic, non-Tier 3 heat
19 pump water heater, you're going to fall short.
20 So, you have to make that up somehow. And we're
21 proposing to do that with additional PV system.
22 In most cases, it's going to be kind of a very
23 modest amount of PV system that will make up the
24 difference.

25 And then, an alternative to that would be

1 to use a Tier 3 heat pump water heater, which
2 really lines up nicely in comparison against your
3 tankless instantaneous water heater.

4 So, we haven't really decided on the
5 final format. It could be two entirely different
6 packages or we could handle it through footnotes
7 at the bottom of the table.

8 MR. NESBITT: Okay.

9 MR. SHIRAKH: I actually like what George
10 did. If you have questions about the specific
11 slide, feel free to come up because there's a lot
12 of information and you can ask that.

13 But for more general comments like, you
14 know, you love this or you hate it, you know,
15 kind of save that for the public Q&A at the end.

16 So, we just talked about for mixed-fuel
17 homes. We are going to require a PV system that
18 is just large enough to displace the annual
19 kilowatt hour of that home, not including natural
20 gas.

21 So, what about all-electric homes? What
22 size PV system should we require for that?

23 Our proposal, staff's proposal is to
24 actually base that -- have the same PV size for
25 both all-electric home and mixed-fuel homes,

1 which is based on the electric load of the mixed-
2 fuel home.

3 The reason for that is, you know, the
4 electric load is much -- the electric load is
5 much bigger in an all-electric home. And so,
6 it's sometimes twice as big as a mixed-fuel home.
7 And that could be an additional 3 or 4 kilowatt
8 of PV system, which is another \$12 to \$15
9 thousand costs. And, really, by having that
10 requirement you make it less likely that builders
11 will actually do that. Because, you know, who
12 wants to fork out another 12 thousand bucks?

13 So, by having the same PV size
14 requirement we're going to take that disadvantage
15 away. It's not to say that people can't put in a
16 bigger PV system, if they want, it's just we're
17 not requiring it.

18 And a bigger PV system also requires more
19 attention to grid harmonization strategies and
20 the grid impact, and all that, so we're trying to
21 minimize that.

22 Also, all-electric homes and GHG
23 reduction, we looked at several scenarios that
24 included both mixed-fuel homes and all-electric
25 homes. And what we found, not surprisingly, is

1 that an all-electric home that is equipped with
2 PV panels and battery storage can actually result
3 in very small carbon emissions. That's good to
4 know. Using our current construct, hand tools,
5 and all of that. An all-electric home with an
6 appropriately sized PV system and battery storage
7 can result in very significant carbon reductions.

8 So, I hope you can read these numbers. I
9 know they're small. But it's actually kind of
10 important. We used to have these big, large
11 screens here, and they decided to have these TVs,
12 which are nice, but it's smaller.

13 So, what I have here is the different PV
14 sizes for various ZNE strategies, for different
15 climate zones. This is for a 2,700 square foot
16 home in Sacramento, Climate Zone 12. Actually,
17 it's in all different climate zones, but this is
18 for a 2,700 mixed-fuel home.

19 What we have in this first column is the
20 climate zones. I don't have all 16 climate
21 zones. I think I've got 10 or 11 here.

22 The first column is efficiency EDR
23 without PV. So, basically, this is the EDR that
24 you would achieve by energy efficiency measures
25 only. And as you can see, it kind of bunches up

1 in the mid-forties for most climate zones.

2 So, if you do high-performance attics,
3 walls, those windows, and QII, and all of that
4 stuff, you'll end up with an EDR in this range.

5 Column four is the PV size in DC
6 kilowatts. That's just large enough to displace
7 the kilowatt hour of the homes in each climate
8 zone. And these are the sizes that we're
9 proposing. Again, this is the larger of the two
10 prototypes, 2,700. For 2,100 prototypes, the
11 sizes will be smaller.

12 But again, looking at this, these are not
13 gigantic PV sizes, they're fairly modest.

14 And since I live in Sacramento, I like to
15 use that always as an example. You know, in
16 Climate Zone 12 it's a 3.1 kilowatt system that
17 will be the requirement for this climate zone.

18 And if you add the contribution to the
19 EDR for the 3.1 climate zone and combine it with
20 this, these would be the target EDRs that will
21 end up for different climate zones, for this
22 prototype.

23 And again, you know, you look at them and
24 you've got some in 26, you know, some of them
25 drop down to 18. Climate Zone 8 and 7 are very

1 mild climate zones, they have lower EDRs. That's
2 San Diego and I think 8 is Fullerton.

3 But most other climate zones, they kind
4 of bunch up in the kind of mid to lower 20s, so
5 those would be the target EDRs.

6 So, then what I also did, I said, okay,
7 this is the PV size that you need to displace the
8 annual kilowatt hours. But what if we, you know,
9 wanted to have a different strategy? Like if we
10 wanted to install, you know, go through an EDR
11 score of zero, full ZNE, using a PV system by
12 itself. What I call the DOM PV here basically
13 means a PV system with no grid harmonization
14 strategies. You know, just slap on a bunch of
15 PVs, annual direction, and then call it a day.

16 As you can see that strategy, to get you
17 to an EDR score of zero, you need a 7 kilowatt
18 system. A huge increase from 3.1.

19 But if you equip that same battery, the
20 same PV system with a battery storage system,
21 with very limited control capabilities, and the
22 size goes from 7.0 to 5.8.

23 But now we can also improve our control
24 strategies in a way that maximizes utilization of
25 high TDV hours. And the way battery helps is the

1 PVs are going gang-busters in the middle of the
2 day. You know, there could be an over-generation
3 problem, so the TDV value of that generated
4 electricity is low at the hour that it's being
5 produced.

6 Batteries can store that and then make it
7 available to the homeowner or the grid at 6:30 or
8 7:00 on a hot day, when the TDV values are high.
9 So, this going from low to high is what gives
10 this benefit to the batteries.

11 And because EDR targets recognize the TDV
12 differentials, then batteries can take advantage
13 of this. And that's why you can get to the same
14 EDR target by putting in storage and downsizing,
15 you know, the PV system.

16 So, continuing the story, you know, if
17 you have batteries with kind of basic controls,
18 the size drops to 5.8. But if you have more
19 advanced controls that can really utilize those
20 really high TDV peak hours, in late July, August,
21 then your size actually drops to 3.8.

22 And if you want to go one more step
23 further and put in condensing furnace and
24 condensing water heater, you're down to around
25 3.5, which is not actually much bigger than the

1 3.1 that we started out, but this one actually
2 meets the full ZNE definition.

3 But look at the cost, the size difference
4 between 3 and a half and 7, or even 5.8. This is
5 like a 2 to 3 kilowatt or more reduction in the
6 PV cost. That's like a \$9 or \$10 thousand cost
7 saving that can actually pay for the storage
8 system. The storage systems could actually cost
9 less than that.

10 So, here you have a strategy that you can
11 meet the full ZNE or low EDR target with a modest
12 size PV system that is grid harmonized, at a
13 lower cost.

14 So, as you design your buildings and all
15 that, you need to take advantage of the tools
16 and, basically, both minimize cost and enhance
17 benefits.

18 The next slide is the same thing, except
19 it's for all-electric homes. And the story is
20 the same, but because all-electric homes have a
21 bigger electric load the numbers tend to be
22 bigger.

23 But again, if you look at, again, Climate
24 Zone 12, you go from 3.1 to 4.4, instead of going
25 to 8.4, by employing some of these strategies and

1 technologies, and you can still get the full ZNE
2 at a much lower cost and bigger benefit for the
3 grid, the homeowner, and the environment.

4 So, extreme efficiency and ZNE. Can
5 extreme energy efficiency, regardless of cost,
6 achieve full ZNE or even low EDR scores?

7 And, Bob Raymer, you cannot answer this
8 because you've seen this before.

9 (Laughter)

10 MR. SHIRAKH: How many of you think we
11 can actually get to low EDR scores using extreme
12 energy efficiency?

13 Come on. Yeah, you're not going to get
14 scored. Remember that slide I showed you, you
15 know, that I asked you to remember these numbers,
16 that's where this comes in.

17 Look at this home. I mean, this is
18 probably a passive house. It's got walls that
19 are two-feet thick, probably filled with
20 insulation, and probably a lot of -- but even if
21 you eliminate all heating, cooling, and hot
22 water, and say we don't want IIQ, I don't want an
23 air conditioner, I want to take a cold shower all
24 year round, no hot water heater, even on
25 Christmas Day, you still end up with an EDR score

1 of about 25 to 30.

2 So, extreme energy efficiency is going to
3 get you so far. That's because as I showed in
4 most of our climate zones the dominant loads,
5 nowadays, are plug loads. Look at what's going
6 on in this home. You've got lights on. There's
7 probably a couple of different TVs in there.
8 You've got dishwashers, clothes dryers, clothes
9 washers, the plug loads, the chargers and all
10 that. So, that's what's driving, you know, the
11 energy use in homes, more so than unregulated
12 loads.

13 Again, with 2019, EDRs tend to be in the
14 43 and 48 range. Practical energy efficiency
15 measures can reduce your EDR target by about 7 to
16 9 points, depending on the climate zone. So,
17 realistic targets are more in the 34 to 41 range
18 for energy efficiency features, alone.

19 Conclusions. Limited opportunity for
20 regulated loads to lower EDR in the future. And
21 if any community wants to go lower than these
22 numbers, they need to depend on PV plus demand
23 flexibility to achieve low EDR or ZNE goals.
24 They can't do it with efficiency, alone.

25 Standards and PV sizing. Again, in Part

1 6 the requirement is the PV size that displaces
2 the annual kilowatt hours. And, you know, you
3 may install a larger PV than that, but you're not
4 going to get any credit for it.

5 However, for Part 11, if you install a
6 battery storage system that is at least 6
7 kilowatt hours, then the software will allow you
8 to oversize the PV system by a factor of 1.6.
9 And that is to basically allow these beyond-code
10 programs to get to a ZNE target.

11 Why 1.6? It provides additional
12 flexibility for the grid. The battery enables
13 the increased PV capacity to be used by the
14 utility to meet high demand during critical
15 periods. Basically, it provides additional
16 benefits to the utility and the grid.

17 It promotes self-utilization of the PV
18 generation. Because you've got a battery in
19 there, you can store it and then use it when you
20 need it, and not send stuff back to the grid.

21 And also. 1.6 ensures that the cap, that
22 in all climate zones there is actually a positive
23 or greater than 1 benefit to cost ratio for the
24 homeowner. And those are in some of the slides
25 and I'll show you how we came up with that.

1 Now, CBECC also will allow you to exceed,
2 bypass that 1.6 size. We don't recommend it but,
3 you know, you can do it because we think we can
4 actually get to full ZNE with a 1.6 and advanced
5 batteries and demand flexibility measures.

6 But there is actually the checkbox that
7 allows you to bypass the 1.6 size.

8 This is -- yeah, it's really hard to
9 read. The estimate cost for our prescriptive
10 efficiency measures, plus PV system by climate
11 zone. I'll read it for you, if you can't read
12 it.

13 (Off-mic comment)

14 MR. SHIRAKH: Pardon me? Yeah, so let's
15 look at -- you know, the costs actually are
16 driven primarily by the PV system. And so, the
17 cost of the PV system, this is PV average of two
18 prototypes, it tends to be around \$9,000, \$7,000.
19 You know, in some climate zones like 11, it's
20 about 10 and a half. Climate Zone 13, it's
21 \$11,000. The biggie is Climate Zone 15, with
22 \$16,000. But most of the other climate zones,
23 they tend to bunch up around 8 to 9 thousand
24 bucks for the PV system.

25 And when you add the cost of the high-

1 performance walls and QII, and high-performance
2 attics and all that, so the final cost is in this
3 column here. Again, it ranges between \$8,000 and
4 \$9,000 in the milder climate zones. And Climate
5 Zones 11 and 12, they're about \$10,000 to
6 \$12,000. Again, Climate Zone 15 with \$17,000.
7 That's the kind of the outlier.

8 Okay, we're done with the easy part of
9 the presentation. Now, we're going to get into
10 lifecycle costing.

11 So, what I'm going to show you, now E3
12 helped us with a whole bunch of different
13 scenario analysis, and I didn't present all their
14 slides, and graphs, and all of that. What I'm
15 presenting is what I call the E3's greatest hits,
16 basically. What's, you know, we think the most
17 relevant.

18 And so, what they found is based on a PV
19 system that is sized to displace the annual
20 kilowatt hours are cost effective in all climate
21 zones. So, that PV system that I showed in that
22 graph, we found that to be actually very cost
23 effective in all 16 climate zones.

24 Again, even if we change NEM rules to
25 only allow avoided costs for the hourly exports

1 and we didn't assume any federal ITC, the
2 investment tax credit, which is going to phase
3 away in a few years, anyways.

4 So, again, these are going to be hard to
5 read for you guys, even for me standing here.
6 But we have two scenarios here. This one is the
7 all-electric home and this is the mixed-fuel
8 home.

9 For mixed-fuel home, we have three
10 scenarios here. The blue bar here -- and these
11 are the climate zones. The blue bar is the size
12 of the PV that offsets the annual kilowatt hours,
13 those are the blue bars and that's the basis of
14 our standards.

15 The next one is what I call the gold, is
16 the sizing that offsets the electric load in TDV
17 terms.

18 So, the blue is just basically hour-to-
19 hour kilowatt hour -- I'm sorry, kilowatt hour-
20 to-kilowatt hour offset. The gold is doing that
21 in TDV terms.

22 And the red is displacing both natural
23 gas and electricity. And as you can see, the red
24 bars are much larger. Obviously, because we're
25 including the natural gas load in it.

1 So, again, our standard requirement is
2 going to be the blue lines in all 16 climate
3 zones.

4 The one to the left is the all-electric
5 version of that. So, again, the blue line is the
6 size that would displace the annual kilowatt
7 hours of the all-electric zone. And it's larger
8 than this one, again because you have more
9 kilowatt hours in an all-electric home. And the
10 goal is the same; it's displacing electricity
11 using TDV.

12 So, our recommendation is the blue line
13 that you see here for both all-electric and
14 mixed-fuel homes.

15 For the cost of a PV system, E3 looked at
16 three different scenarios. The high cost is
17 \$3.55. That's assuming a little reduction in the
18 PV cost in the future. The mid cost is about
19 \$3.00 a watt. And the low cost is \$2.60. That's
20 assuming more aggressive reduction in the PV
21 cost.

22 What we're using for our recommendation
23 is the mid cost. And I should note that this mid
24 cost, about \$3.00 a watt, also includes inverter
25 replacement every ten years. So, our

1 recommendations are based on this.

2 For compensation, you know, we talked
3 quite a bit about NEM rules. NEM II is
4 represented here. This is the blue is the self-
5 consumption, behind-the-meter electricity use,
6 and NEP compensates that at full retail.

7 The gold is the compensation for the
8 hourly exports. And again, for NEM II, that's
9 what we call the NEM-adjusted retail. It's a
10 little bit less than full retail.

11 The second scenario, behind-the-meter
12 self-use compensation is the same, but the hourly
13 exports are not compensated at avoided cost,
14 which is about half of this.

15 So, the absolute most conservative
16 scenario would be avoided costs for both behind-
17 the-meter self-use and also exports. So, we
18 looked at all three of them.

19 And this fine graph puts it all together.
20 And if you have your magnifying glasses, you
21 know, you can see. And, basically, the scenario
22 that I described is this gold square, which is
23 the mid cost PV system and avoided cost for
24 exports. So, it would be these boxes here.

25 This is the breakeven point line right

1 here. Our recommendation is based on this, which
2 basically says that it is very cost effective in
3 all 16 climate zones.

4 What's also interesting is that even if
5 we went to avoided cost for both self-use and
6 exports, it is still in a lot of cases cost
7 effective. It only is not cost effective if you
8 assume no further reduction in the cost of the
9 PVs. So, that's an interesting thing to keep in
10 mind.

11 So, again, for Reach Codes we have to
12 oversize the PV system by some amount. And we
13 recommended a factor of 1.6. So, how did we come
14 up with 1.6?

15 So, E3 looked at more scenarios. Again,
16 one is basically the electric kilowatt hours
17 that, you know, we've talked about. The other
18 one is the maximum net benefit.

19 So, what scenario, what PV size would
20 give you the maximum net benefit?

21 The third one is the electric TVD. You
22 know, it was that gold graph that we saw before.
23 And in almost all cases it results in a larger PV
24 system and not quite as cost effective as this.

25 And then, what's important is this

1 breakeven point. You know, you can oversize your
2 PV system and get to a point where there is no
3 net benefit for the homeowner. Where's that
4 going to lie?

5 So, the convention here, everything that
6 you see is in blue is E3. Everything that's red
7 I put in there so I know what I'm talking about.
8 This basically summarizes.

9 So, this is the NEM II scenario where you
10 have retail for behind-the-meter, self-use and
11 exports, avoided cost and also -- and, I'm sorry,
12 the exports are NEM-adjusted retail. And net
13 surplus compensation for over-generation.

14 And the blue graph, again, is the PV size
15 that would displace the annual kilowatt hours.
16 It's the blue line, which is the smaller of all
17 four lines.

18 The gold is the PV size to maximum net
19 benefit. What is interesting is that the blue
20 and the gold line are exactly the same, which
21 means that the PV size that we require to
22 displace the annual kilowatt hour also has a
23 maximum net benefit in all 16 climate zones.

24 The red is the TDV. I'm going to ignore
25 that for now.

1 The green is the PV size that will give
2 you the zero net and that's the breakeven point.
3 Basically, in these climate zones you can
4 oversize your PV system. And as long as you
5 remain below that PV size there is a net benefit
6 to the homeowners. They're going to have a
7 greater than one.

8 And what this does, it's a ratio between
9 the green line and either the blue or the gold
10 line. And as you can see, you can actually do
11 oversize by quite a bit and still have a net
12 benefit.

13 George, a quick one?

14 MR. NESBITT: Yeah, George.
15 Traditionally, solar installers have sized
16 systems at around 80 percent of people's electric
17 use. And now, NEM II changed that a little bit,
18 but not much.

19 So, what you're proposing is we size a
20 system based on 100 percent electric use of the
21 standard design being a mixed fuel.

22 MR. SHIRAKH: Right.

23 MR. NESBITT: So, assuming it is a mixed-
24 fuel house, you're generating 100 percent of your
25 annual electricity.

1 A couple of things I want to point out is
2 I believe on your NEM application your fixed --
3 you're limited to I think no more than 110
4 percent of your electric use, although you can
5 justify a larger system saying you're going to
6 add EV or electrify. You can get around it a
7 little bit, but there is a limit there.

8 And I mean, I guess the point is sort of
9 that 80 percent was sort of, I think, a fairly
10 sweet spot as sort of maximum sort of benefit and
11 cost effectiveness of the system. So, when you
12 go beyond that, it might be still less cost
13 effective, but it's less cost effective. Or,
14 essentially, you're getting less benefit for it.

15 MR. SHIRAKH: But George, I'm kind of
16 losing the train of thought here. You need to
17 get to this quickly.

18 MR. NESBITT: So, I can't put in 160
19 percent of my electric use. I can't oversize my
20 PV system according to NEM.

21 And the other point I want to make is the
22 relationship between predicted electric use and
23 actual. Because I have a couple of real high-
24 performance projects where the difference between
25 the predicted electric use and their actual was

1 quite significant, which means we're sizing
2 systems for way more use than they have, and
3 there's no economic benefit. And there's
4 actually -- there's negative impacts on the grid
5 from oversizing and over-production.

6 MR. SHIRAKH: Yeah. So, again, just to
7 answer quickly, this is for new construction and
8 nobody exactly knows, you know, how much the
9 kilowatt hours are going to be, the building
10 hasn't even been built.

11 Some utilities are using a 2-watts-per-
12 square-foot rule, which is actually much bigger
13 than the sizes we're talking about here.

14 And so, yeah, you know, it's a gray area.
15 But if you anticipate larger loads, like EV and
16 all that, you know, I think you can install a
17 larger system. And that's what, you know, this
18 number is supposed to accommodate.

19 Bill, do you have anything to add to
20 that?

21 MR. PENNINGTON: No, I think you should
22 go ahead.

23 MR. SHIRAKH: Okay. So, again, going
24 back to this, the ratio of the green, which is
25 the breakeven, to the maximum benefit is much

1 greater than 1.6 in every climate zone.

2 So, we also looked at a scenario where,
3 basically, it's retail for behind-the-meter but
4 avoided cost for exports, instead of NEM-adjusted
5 retail. And I'm calling that NEM III. I know
6 there's no NEM III but, basically, this is
7 shorthand for, you know, this strategy here.

8 So, what happens if we change the
9 compensation rules so it's only avoided cost for
10 exports going back to the grid? These numbers do
11 come down. But again, it is almost right around
12 1.6 in every climate zone except one. So, that's
13 where the 1.6 basically came from.

14 And if you do a statewide weighted
15 average, it is slightly greater than 1.6. So,
16 that's where it came from.

17 Now, if you look at another case where
18 the retail is for self-use, but only net surplus
19 compensation for the -- that's only the 3 cents
20 or 4 cents a kilowatt hour.

21 For both the exports and the annual
22 surplus, these numbers significantly drop. But
23 again, in most, in almost every other climate
24 zone it's right around 1 or above. So, it's just
25 a sensitivity analysis that will show you that,

1 you know, if the compensation changes, you're
2 still going to have greater than 1 benefit to
3 cost ratios.

4 So, what about storage? What happens if
5 we add storage, how is that going to impact cost
6 effectiveness?

7 So, we looked a couple or three different
8 scenarios. Behind-the-meter receives full TDV at
9 about 20 kilowatt hours. Exports receive, you
10 know, generally about 3 cents. The battery
11 storage that we looked at here was 14 kilowatt
12 hours in capacity. It's a 5 kilowatt charge
13 discharge rate, 90 percent round trip efficiency,
14 and the cost was about \$500 per kilowatt hour
15 installed.

16 Looked at one scenario. This one is
17 based on retail for self-use and net surplus
18 compensation for exports and annual surplus. So,
19 again, this is actually a very conservative
20 scenario because, you know, you're only valuing
21 hourly exports at 3 cents a kilowatt hour.

22 But by adding storage to this, again I
23 call that the generous Santa option because what
24 would happen is Santa gives you the power and for
25 Christmas he doesn't charge you for it. How does

1 that improve your efficiency?

2 You can see these green lines are
3 basically going through the roof. I mean,
4 storage can have a very positive impact on the
5 kilowatt hours that are generated and you can see
6 these ratios here.

7 But what if Santa actually charges you
8 for that? You can see the numbers come down
9 significantly but it's still much greater than
10 1.6.

11 We also looked at what happens for some
12 of the MUNIs. I mean, most of our discussion
13 related to NEM only applies to IOUs. But, you
14 know, we do have MUNIs in the State.

15 So, we looked at three of them here.
16 That's the IID, is the Imperial Irrigation
17 District, SMUD, and LADWP. So, this is the TDV
18 retail and that's the average for the IOUs. And
19 SDG&E's NEM rates are up here. PG&E is here.
20 And SCE is there. So, in those cases, you know,
21 they're kind of bunched up.

22 LADWP, their NEM rates are kind of right
23 up there with the IOUs. That's the blue line,
24 the LADWP.

25 The red is the Imperial Irrigation

1 District and the green is SMUD, here. So,
2 anything that's below these lines, that is cost
3 effective, and these are climate zones.

4 Anything that's above these lines is not
5 cost effective. So, what's not cost effective is
6 these yellow diamonds, which is the high cost PV
7 at avoided cost for everything. Again, you know,
8 that would be a scenario where you have avoided
9 cost for behind-the-meter, and exports, and also
10 high-cost PV system. So, that would not be cost
11 effective in any climate zone, for any utility.

12 But if we get to some of these scenarios
13 here, which is even like the high cost PV system,
14 and only avoided cost for exports, these are all
15 cost effective for all MUNIs that we're
16 considering here. Not all the MUNIs in the
17 State, the ones we're considering here, and in
18 all climate zones.

19 So, the scenario that you saw before,
20 where you have retail for self-use behind-the-
21 meter, and avoided cost for exports at different
22 PV sizes, they're virtually cost effective in, I
23 would say, 99 percent of the State.

24 There may be some MUNIs up north where
25 they get very cheap hydro power that might be

1 different.

2 So, what would be the impact of the PV on
3 the universe of PVs that are out there on the
4 grid, as a whole?

5 The blue line here is total statewide
6 capacity, that's installed and projected to grow
7 in the future, regardless of our standards.

8 The red is a total residential retrofit.
9 Again, it's there and it's going to grow
10 regardless of what we're proposing here.

11 The green is the total residential new
12 construction, which is this line. And this is
13 basically the amount that builders are putting in
14 on the homes already, in the absence of our
15 standards.

16 So, this blue line is the impact of 2019
17 Standards. And at the end of this line here is
18 basically 2023, which is the end of the three-
19 year cycle for the new standards. So, the impact
20 of 2019 standards at the end of the cycle would
21 be only this much relative to the universe of PVs
22 that's already out there.

23 Software tools, so we're getting close
24 here. We've been working on CBECC-Res,
25 continually adding capabilities to it for both

1 Part 6 and Part 11. The software can be used to
2 size the PV for Part 6 compliance or, you know,
3 you can also use it for larger PVs, for Reach
4 Codes.

5 It will assess the impact of battery
6 storage on lowering the EDR, assess the impact of
7 pre-cooling and other DR strategies on lowering
8 EDR, and assess the impact of heat pump water
9 heater demand response on lowering EDR, and there
10 are additional options.

11 This is an input screen from CBECC. This
12 is a screen where you can specify your PV system.
13 If you have a simple PV system that's only facing
14 one orientation, you can use the simplified
15 approach.

16 But if you have a more complex PV system,
17 like the one I got, you can have two or three
18 different orientations, and then you've got to go
19 to the detail tab. And then, you can specify
20 different arrays for orientation. You can either
21 specify CFI orientation, which is 150 to 270, or
22 you can have the actual orientation specified in
23 this tab.

24 You can either accept an inverter
25 efficiency or you can input your own.

1 Up here, this is for Reach Codes. If you
2 want to reach a certain EDR target, you can
3 actually put in that EDR target and the software
4 will calculate the PV size based on the energy
5 efficiency features, and your storage, and demand
6 flexibilities. And it will tell you what size PV
7 you need to get to that target EDR. It's a very
8 useful tool. Without it, you get into this
9 analyst iteration and you've got to put in 3.1,
10 3.2. So, this greatly simplifies.

11 But you don't want to use this too often
12 because when you check that checkbox and it has
13 to run through the simulation two or three times,
14 it really slows down. So, once you figure out
15 what your size is, uncheck this.

16 This is the battery tab. That's where
17 you specify the size in kilowatt hours. Again,
18 for controls we have two, we could have actually
19 three here pretty soon. It's a default, best
20 case, and you know, we can have something in
21 between for controls. And that really changes
22 the amount of credit the battery will get.

23 So, this is the efficiency, the round
24 trip efficiencies and the charge discharge rate.

25 And here is where you have a checklist

1 that allows excess PV generation credit for both.
2 That's basically when you put in the battery
3 storage system the software will automatically
4 allow you to oversize to a factor of 1.6. For
5 some reason, if you want to go above that, you
6 can check this checkbox and the software will
7 allow it, but it will give you a warning sign, be
8 aware of the NEM rules.

9 In this software, on this screen, under
10 the building tab, you can check the checkbox and
11 the software will give you credit against PV EDR
12 for precooling strategies. And what is
13 precooling?

14 These buildings that we're building with
15 2019 Standards, with high-performance attics,
16 high-performing walls, really good windows,
17 tight, you know, you've got continuous
18 insulation, it's like a thermos.

19 So, the idea is that during those low TDV
20 hours in the middle of the day, when electricity,
21 PV is generating, you can actually use that to
22 precool your house. And then, shut off the air
23 conditioning when the high TDV hours or high TOU
24 hours arrive, and you can very likely coast
25 through those hours. And that strategy gives you

1 a pretty decent TDV credit or EDR credit.

2 The problem with that is this is highly
3 occupant dependent. So, we cannot probably give
4 you the full credit for it. It's sort of like
5 the whole house fan, we have to discount it.

6 We saw this screen before. That's where,
7 you know, you have to meet or beat these EDR
8 targets and these are the numbers that I showed
9 before.

10 To comply, this is a little bit different
11 than the past, those of you who are familiar with
12 the software. Again, in the past you only had to
13 meet the energy efficiency target. Now, you've
14 got both energy efficiency and the final EDR,
15 which includes the PV numbers.

16 That's it for now. Bob?

17 MR. RAYMER: Yeah, Bob Raymer, with the
18 California Building Industry Association.

19 Could you do me a favor and go back about
20 five slides, where you were talking about the
21 battery and having a midrange? That one.

22 Some of my comments in a minute are going
23 to be getting into, you know, the administrative
24 process. And there's going to be some here today
25 that this is their first regulatory process with

1 the CEC. Namely, the battery industry and some
2 of the solar.

3 And where you've got the blue line there,
4 sort of the midrange that could be later done --

5 MR. SHIRAKH: Yeah.

6 MR. RAYMER: It's important, I guess, for
7 everyone to know that the first version of CBECC
8 is not the only version of CBECC, that there will
9 be updates to it.

10 MR. SHIRAKH: Yeah.

11 MR. RAYMER: And those don't all have to
12 take, necessarily, effect the day the CEC adopts
13 the standards.

14 MR. SHIRAKH: Correct. You know, we're
15 constantly -- Bruce is sitting there.

16 MR. RAYMER: Yeah.

17 MR. SHIRAKH: And we're keeping him real
18 busy. And his job has been, the last few months,
19 to constantly upgrade and update this software,
20 adding more capabilities, and this is going to
21 continue.

22 Of course, you know, we don't have
23 unlimited resources. You know, so we have to
24 prioritize, but we're doing the best we can to
25 provide these tools.

1 MR. RAYMER: And I anticipate it's sort
2 of a living type of a process here, and
3 particularly, the storage industry is going to be
4 coming up with upgrades. I'm sure right now,
5 today, you'll probably hear that your costs seem
6 to be on the large size, or the high side. But
7 there's a lot of new technologies that are going
8 to be coming out and so I see a lot of upgrades.

9 Anyway, is it time to go ahead and get
10 into my comments here?

11 MR. SHIRAKH: Sure.

12 MR. RAYMER: Okay. Just in general, you
13 know, CBI would like to extend our thanks to both
14 to Commissioner McAllister and to staff thus far.
15 In our view there has been and continues to be a
16 general desire to work with the parties to seek a
17 collaborative solution on a host of issues.

18 Kind of making matters more difficult,
19 industry is trying to learn how to implement the
20 existing 2016 Standards, while at the same time
21 working with the CEC staff to develop the 2019
22 Standards. And I know that's a challenge on both
23 sides here.

24 Both of these standards represent
25 historically large changes in common design

1 practice and both represent historically large
2 increases in the initial construction cost.

3 To restate the obvious, we are attempting
4 to implement a series of major changes to our
5 building codes in a remarkably short period of
6 time. And we do appreciate staff's patience as
7 we go about this.

8 And I'd like to particularly note some of
9 the recent discussions we've been having on the
10 potential for, once again, reviving the
11 alternative compliance approaches. You know, in
12 each climate zone having a dozen or so of those
13 packages out there. I know that's going to be
14 well received by both the enforcement community,
15 who's here today, and by the building industry.

16 Particularly, as we find sort of new and
17 emerging technologies, you know, such as the
18 roll-in bat insulation that may be able to be
19 used in the high-performance attics that could
20 definitely overcome some of the other problems
21 that we've had.

22 So, we're very appreciated of staff
23 taking the time and effort to do that. We know
24 it's not easy.

25 Regarding the administrative process, it

1 would be good for the CEC in the coming weeks to
2 clarify what aspects of the solar, the storage,
3 and the prescriptive and alternative compliance
4 packages that I just mentioned, you know, when
5 those will be addressed as part of the Part 6
6 update, and what aspects of all of that will be
7 addressed as part of the ACM development and
8 adoption process. The ACM process presumably
9 taking place in the June to November time frame.

10 For those of you in the audience, who
11 weren't familiar with the last update of the
12 standards, we hear a lot about the PV compliance
13 credit, and the fact of the matter is almost all
14 of the work related to that was done post-
15 adoption. It was done as part of the ACM update,
16 which took place in the six to eight months after
17 the adoption of the last set of the standards.

18 So, moving on, CEC's proposal regarding
19 renewable energy storage in the EDR, CBI strongly
20 supports a robust compliance credit for storage
21 technology. In addition, we also support a
22 significant compliance credit for storage
23 compliance technology when used in conjunction
24 with renewable energy above and beyond that
25 amount that the CEC is seeking for sort of a

1 quasi-mandate in the EDR.

2 So, in essence, if in Climate Zone 12 you
3 earmarked, you know, a 3.1 kilowatt system for
4 that 2,700 square foot home and you're going to
5 put in 4.5 kilowatts instead, what about that
6 additional .6 kilowatts, you know, with storage?

7 And most importantly we support the use
8 of this compliant credit -- or, these compliance
9 credits as part of both the renewable and the
10 energy efficiency portions of the EDR for the
11 following four reasons.

12 With time-dependent valuation, number
13 one, and today's storage technology is advancing
14 rapidly and the related costs are dropping like a
15 rock. Storage technology allows for the
16 gathering of low-cost PV energy around the middle
17 of the day, as you just mentioned, and keeps it
18 on site for use during peak load periods in the
19 late afternoon.

20 From an EDR perspective, this is similar
21 to a highly efficient air conditioning system on
22 steroids.

23 In short, CBI thinks storage should be
24 modeled like an extremely efficient appliance.

25 Number two, grid harmonization. Over the

1 past nine months the CEC staff presentations have
2 been placing an increasing emphasis on the rather
3 dire need for this update and future updates of
4 the standards to address grid harmonization
5 issues head on. Industry completely agrees with
6 staff on this.

7 It could be very problematic if we don't
8 get this right early on and promote it as
9 strongly as possible. On site, storage is
10 perhaps the best way to accomplish this.

11 Time-of-use rates. Prior to the
12 implementation of the 2019 Standards, the utility
13 ratepayers in California for the most part will
14 have made the switch to time-of-use rates.

15 Looking at the SMUD description for time-
16 of-use rates that they're proposing, that I
17 recently got in my bill, SMUD's time-of-use rate
18 in the late afternoon, in the summer, will be
19 approximately two to two-and-a-half times what it
20 is in the morning and early afternoon hours.

21 Once this happens, ratepayers are going
22 to get a wakeup call in the form of huge
23 increases in their summer bills. SMUD was
24 estimating \$10 to \$12. I see it being a whole
25 lot more. People in Sacramento love their air

1 conditioning.

2 It goes without saying that the consumer
3 support for storage technology is going to
4 skyrocket once those bigger bills start to
5 arrive.

6 And number four, industry needs to
7 familiarize itself with storage technology.
8 Similar to the PV compliance credit in 2016,
9 industry needs to get very familiar with storage
10 technology in a very short period of time. We
11 cannot be waiting for 2013 to 2016 to get this.
12 We need to be doing it effectively, now.

13 Providing an unrealistically low
14 compliance credit for storage and limiting it to
15 the renewable portion of the EDR is a sure way to
16 suppress the usage of this technology at a time
17 when the CEC and other agencies need to be
18 promoting it.

19 And lastly, with regards to I don't want
20 to say exceptions, but the limitations on solar
21 depending on certain circumstances, we'd like to
22 work with you. I noticed that exception number 5
23 mentioned building plans, dwelling plan
24 submittals.

25 MR. SHIRAKH: Right.

1 MR. RAYMER: It may be better to put
2 subdivision map back. You know, that's stuff
3 that we can work on. You know, I'd particularly
4 like to get CALBO's comments on that stuff, once
5 you start really kind of fine tuning language
6 there.

7 MR. SHIRAKH: Yeah, we need to get the
8 terminology correct there.

9 MR. RAYMER: Gotcha. Anyway, thanks a
10 lot.

11 (Off-mic comment)

12 MR. SHIRAKH: Yeah, we have a transcript
13 here.

14 MR. RAYMER: Yes. We're going to be
15 putting all of this into the docket and then
16 some. We'll get it to you by your September 1st
17 deadline. But Mike Hodgson is on a fact-finding
18 mission in Tanzania right now and, you know, we
19 may have to do a little augmentation.

20 MR. SHIRAKH: He has internet access,
21 too.

22 MR. RAYMER: He's the smart one, yeah.

23 MR. SHIRAKH: Yeah. Thank you, Bob.

24 MR. RAYMER: Okay.

25 MR. SHIRAKH: Hi, Nehemiah.

1 MR. STONE: Hi. Nehemiah Stone, Stone
2 Energy Associates.

3 Most of my comments have to do with the
4 cost effectiveness analysis. And in the cost
5 effectiveness calculations, I'm urging you to
6 include the cost of installing natural gas to the
7 neighborhood, piping it to the building,
8 installing the meter, and piping within the
9 building. Since gas is not required for
10 buildings, like electricity is, all of the costs
11 of gas infrastructure must be counted if you're
12 going to treat the two energy sources fairly.
13 Otherwise, you are giving an unfair advantage to
14 gas.

15 And just to put it in context, we have a
16 couple of quotes from PG&E for projects that were
17 going forward, that are in the range of \$13,000
18 for a single-family home. And I think that if
19 you compare that to what you said, Mazi, about
20 the cost of a PV system, of \$5,000 to \$8,000, it
21 seems pretty clear that it's an important element
22 that should not be left out of the cost
23 effectiveness analysis.

24 At the very least, a gas package should
25 have measures or requirements that balance out

1 the higher cost of having to install a gas
2 infrastructure to and in mixed-fuel buildings.

3 And a question related to that. I know
4 that before the standards become effective you
5 have to do, essentially, an EIR equivalent
6 analysis. When you do that are you -- how will
7 the impact of allowing unnecessary gas appliances
8 to be installed in already impacted air quality
9 districts be handled? How are you going to
10 handle that piece?

11 I've got a couple of other things, but
12 I've put that out as a question, if you have an
13 answer?

14 MR. SHIRAKH: How are we going to handle
15 the impact of gas? They're already there.

16 MR. STONE: No, I'm talking about adding,
17 allowing people to add more gas appliances in an
18 air quality zone that is already impacted. How
19 is that going to be handled in the EIR analysis?

20 MR. SHIRAKH: Well, I guess I don't know.
21 We'll get to that at the time, you know, but
22 we're not -- haven't really spent any time on the
23 EIR, yet, so I don't know.

24 MR. STONE: Okay. And also, unrelated to
25 that, but similar to how the Commission required

1 homes to be solar ready well before the CEC
2 required solar, we're recommending the CEC should
3 require controls to ensure that EVs are charged
4 only at times that are beneficial to the grid,
5 even if EVs are not being used right now, but any
6 time an EV charging station is installed.

7 And then the last question I have is, are
8 the algorithms within CBECC-Res that are
9 estimating the output of the PV system the same
10 algorithms that are within the newish software
11 that is used with NSHP? Is it the same? Is it
12 being calculated in those two pieces of software
13 --

14 MR. SHIRAKH: I'll let Bruce answer that.

15 MR. WILCOX: So, there used to be a CEC
16 PV calculator. It's going away and now there's -
17 - I can't remember what it's called. I don't
18 know what it's called. But anyway, there's a new
19 calculator for estimating the output from the PV
20 within the --

21 MR. SHIRAKH: And we're using a version
22 of the PV Watts, but I'll let Bruce answer you.

23 MR. STONE: The New Solar Homes program.

24 MR. WILCOX: Yeah, I'd have to check on
25 that, Nehemiah. I don't know what the new

1 software for the New Solar Homes Program is. But
2 we're using a version of PV Watts, which was a
3 federal government support NREL program. And I
4 think it's, you know, an accepted software
5 product, and that's what we're doing.

6 MR. STONE: Right, right. So, if they're
7 not the same, in other words if what's going into
8 -- what's being used for NSHP is not the same as
9 what's being used for this, it could cause some
10 problems down the line for --

11 MR. SHIRAKH: Well, the difference
12 between the two aren't actually that big. And
13 the problem with the NSHP is that, you know, it
14 has to be maintained continuously. There's a
15 large database behind it.

16 So, what we're doing here is basically
17 eliminating the need for having a large database
18 behind it by providing some default assumptions,
19 and allowing the user to actually directly input.
20 You know, the efficiencies of the inverters and
21 all that, rather than trying to support this
22 whole database.

23 MR. STONE: Are you confident that the
24 answer will be close enough it's not going to
25 cause any problems?

1 MR. SHIRAKH: We looked at it early on
2 and the differences weren't that great.

3 MR. STONE: Okay, great. Thank you,
4 Mazi.

5 MR. SHIRAKH: Thank you, Nehemiah.
6 Randall?

7 MR. HIGA: Good morning. First, I want
8 to thank Commissioner McAllister and -- oh, my
9 name is Randall Higa, Southern California Edison.
10 Sorry.

11 I first want to thank Commissioner
12 McAllister and CEC staff for their dedication and
13 hard work for the continuing development of the
14 Title 24 Building Energy Standards.

15 Southern California Edison supports the
16 Commission's overall approach to the proposed
17 energy standards and look forward to our
18 continuing support of the Commission to work out
19 any remaining issues, including implementation
20 and supporting compliance improvement.

21 SCE supports efforts to enable customers
22 to have options to manage their energy use. And
23 to that end, SCE is modernizing the grid to
24 support California's transition to a cleaner and
25 more sustainable future. That includes

1 distributed renewable energy generation
2 resources, energy efficiency, energy storage,
3 electric vehicles, and demand response. Thank
4 you.

5 MR. SHIRAKH: Thank you, Randall.

6 Any other questions in the room? Hi,
7 Pierre.

8 MR. DELFORGE: Good morning, Pierre
9 Delforge with NRDC. Let me just get my notes
10 here.

11 I'd like to thank the Commission and
12 staff for the opportunity to have this discussion
13 and share this wealth of information. It's going
14 to take a little time to digest.

15 But I'd like to offer some comments, some
16 of which have been addressed today but, for the
17 record, I still want to bring them up and others
18 which have not, or at least I don't think so.

19 So, generally, I think NRDC supports,
20 very, very strongly supports the general
21 direction of the code.

22 We support, in particular, the
23 prescriptive requirement for PV for new
24 residential construction.

25 We do seek some clarification on

1 implementation. For example, we want to make
2 sure that the exemptions or exceptions are
3 narrowly and clearly defined, and would like to
4 see the proposed language for stakeholder review
5 and feedback.

6 And we also encourage CEC to establish
7 alternate requirements for buildings that cannot
8 or are not suitable for PV, so that they can
9 still do their fair share for energy savings and
10 carbon reductions. For example, through
11 community solar, higher efficiency, grid
12 flexibility requirements.

13 Alternate requirements would also reduce
14 the risk of loopholes by avoiding the temptation
15 of some get-of-out-of-jail-free option in the
16 code.

17 We're open to flexibility as to where PV
18 should be sited. I believe this afternoon there
19 will be a discussion on community options, so I'm
20 not going to go into details. But I just want to
21 mention that as long as we can do it in a way
22 that's additional, that's proximity requirements,
23 and that the customer benefits are equivalent
24 that the customers would derive from a rooftop PV
25 we think that it's important to provide some

1 flexibility in the market for PV siting.

2 The second point is that one of, you
3 know, the things that we most strongly support is
4 CEC's direction and the PV credit in the code.
5 You know, that was a tradeoff that would add
6 homes with solar PV in the 2016 Code to have less
7 efficient walls and attics than non-solarized
8 buildings. And, you know, the idea was to have a
9 transition. I think the transition is well under
10 way. Costs are dropping.

11 And to ensure that this transition is
12 complete by 2020 -- well, to ensure that the
13 transition is complete, we need to ensure that
14 the credit ends by 2020, something that we feel
15 very strongly about. This is important because
16 envelope efficiency remains critical to achieving
17 the de-carbonization of buildings that we need to
18 meet our climate goals. And it's not sufficient.
19 You know, we did all the things like grid
20 flexibility, which is something that we also
21 support, but we do need high-performance
22 envelopes, as well, and we need to complete the
23 transformation that we have started.

24 On grid flexibility, we support valuing
25 the grid flexibility in the code. Particularly

1 for battery storage, also thermal storage, like
2 precooling and electric water heating. We
3 support the principle of valuing that flexibility
4 in a manner that sends a meaningful market
5 signal, but also that does not jeopardize high-
6 performance envelopes.

7 In terms of how exactly to do this, we
8 need to go through what you've presented this
9 morning to better understand it. But one related
10 issue, which hasn't been addressed today, which I
11 think is important to include in the mix because
12 we need to look at this from a system perspective
13 not just, you know, measure by measure is how the
14 electric baseline that you have indicated that
15 you're working on and you're going to provide,
16 how is that going to be implemented?

17 You know, this is a part of the package.
18 If we have electric baseline that truly provides
19 a level playing field that is implemented both as
20 a package and in the software, I think that
21 provides a different level or a different
22 baseline for how to ensure that all-electric
23 buildings can be --

24 MR. SHIRAKH: Well, we're actually
25 planning to do that, Pierre, both prescriptively

1 and performance. And, you know, we can lay it
2 out for you.

3 MR. DELFORGE: Okay, Mazi, when are you
4 planning to share this information so we can look
5 at it and analyze it?

6 MR. SHIRAKH: So, the 45-day language
7 will have to be released soon and it has to be
8 before that. So, I would say in the next month
9 or so we should have the outline for both the
10 prescriptive package and -- I mean, we've been
11 working on this for a while. We have a pretty
12 good idea how it's going to look like, we just
13 haven't gelled it, yet. But, you know, we'll
14 share that with you.

15 MR. DELFORGE: So, I appreciate that
16 information is something, you know, as you said,
17 we'd like to see that to be able to fully
18 evaluate the code as a whole but --

19 MR. SHIRAKH: But conceptually, it's
20 going to use the Tier 3 heat pump water heaters
21 to establish equivalency. That's for both.

22 MR. DELFORGE: Which sounds directly on
23 the right, as long as we have enough room in the
24 market for the higher performance water heaters,
25 you know, the tier, the energy factor at 3.5, and

1 et cetera and, you know, I think that's --

2 MR. SHIRAKH: It will actually allow
3 credit for better performing Tier 3 water
4 heaters.

5 MR. DELFORGE: So, this sounds promising.
6 Thank you for thinking about this. And we look
7 forward to seeing the information.

8 So, this concludes my high-level comments
9 here. We'll obviously, you know, put some
10 written comments with more detail.

11 But again, I'd like to thank the
12 Commission for this opportunity and for this
13 presentation.

14 MR. SHIRAKH: Thank you, Pierre.
15 Doug?

16 MR. MAHONEY: Good morning. My name's
17 Greg Mahoney with the City of Davis, representing
18 CALBO. And I have a question regarding the PV
19 requirement and, specifically, your exception
20 number three, which says in, essentially, three-
21 story buildings there's going to be, I guess,
22 some room for an exception or a limitation of the
23 size of the PV system.

24 And I'm asking this question, one, to see
25 if I can get some detail on how you're going to

1 handle that and, two, because in the City of
2 Davis we're working on approving an ordinance
3 that would offset 80 percent of the electricity
4 use. And I'd like to, if we are going to provide
5 or allow some exception, I would like to do that
6 in a way that would be consistent with Energy
7 Commission's proposal, so we don't have to kind
8 of change it.

9 MR. SHIRAKH: You know, we actually have
10 developed the prescriptive language for the
11 Standards language. What we have here is just a
12 description of the exceptions.

13 So, what the exception says is that for
14 buildings that have three stories, you either
15 have to meet the prescriptive requirement of the
16 standards or what is allowed by the solar axis of
17 the roof, but not less than one watt per square
18 foot of the --

19 MR. MAHONEY: So, it would be dependent
20 on the design of the roof, period?

21 MR. SHIRAKH: Yeah. You know what, it is
22 dependent but we also want -- there is a backstop
23 for it, and it's not just like, you know, you can
24 just get out of it. You have to provide at least
25 one watt per square foot of conditioned living

1 area.

2 And that generally results in a PV system
3 that's about, you know, two and a half kilowatt
4 hours -- kilowatts, something like that.

5 And so, it's going to be the lesser of,
6 you know, what the standard requires
7 prescriptively or what can actually be installed,
8 but not less than one watt per square foot of
9 conditioned floor area.

10 MR. MAHONEY: Okay.

11 MR. SHIRAKH: And it's a modest -- it's
12 going to be a really modest size and it probably
13 requires about less than 200 square foot of
14 decent solar access on the roof to accommodate
15 that lower level.

16 MR. MAHONEY: All right, and no exception
17 for two-story?

18 MR. SHIRAKH: No, two stories, no given
19 the PV sizes that we have and how much the roofs
20 have, we don't think there's going to be any
21 problems.

22 Again, then we also provide that
23 exception with if you install a PV system of six
24 kilowatts, you can reduce the PV size by another
25 25 percent. So, you're really talking about

1 solar access that's less than 200 square foot,
2 sometimes 150. And most homes should not have a
3 problem to meet that. But if there is, let us
4 know. I mean, we're still developing these
5 exceptions.

6 MR. MAHONEY: Okay, thank you.

7 MR. SHIRAKH: Thank you.

8 MR. OBALDIA: Good morning, how are you?

9 MR. SHIRAKH: Good morning.

10 MR. OBALDIA: Berman Obaldia,
11 representing the California Asian Chamber of
12 Commerce, over 600,000 small businesses
13 throughout California.

14 We are here not to ask a particular
15 question but just to, hopefully, be part of the
16 process, to be engaged in the rulemaking process
17 over the next couple of years or so forth.

18 Folks in the Legislature are debating
19 affordable housing. There is clearly a shortage
20 of affordable housing in California and it's not
21 getting any better. It's getting worse.

22 So, as we debate that in the Legislature,
23 and there's proposals to increase developer fees,
24 any number of ways, public policy issues to
25 address the problem, that a concern that we have

1 to a certain extent is that in the process of
2 developing these rules that we keep our eye on
3 the prize in terms of the ability to provide
4 affordable housing.

5 And if there are measures in the
6 regulatory process that could exceed or
7 exacerbate the cost of a home to a fair number of
8 Californians then that -- the goals are laudable
9 in terms of what we're doing. But if it raises
10 the bar, so to speak, financially for a segment
11 of the California population to afford a home in
12 the first place, then we're not addressing the
13 issue in a viable way.

14 And I think the concern that we have is
15 that in the process of developing these rules
16 that there seems to be that we be afforded the
17 opportunity to determine and to ask what were the
18 costs associated.

19 Case in point, the use of the insulation,
20 the cost of the insulation for these homes, we'd
21 like to be part of that dynamic and the
22 discussion in terms of how did you come up with
23 certain costs associated with insulation? Were
24 the manufacturers of the insulation or the home
25 builders brought into that discussion?

1 So, I think that's the concern that we
2 have. The goals are laudable in terms of zero
3 energy homes. I think we're in concert with
4 that. But it's the means to that end that
5 concerns us in light of the fact that we have a
6 shortage of homes and it's affordable homes that
7 we're in dire need of. And by the rulemaking
8 authority it could push those affordable homes
9 even out of the price range for a certain segment
10 of the population.

11 So, as we move forward, hopefully you'll
12 work with the industry, you'll work with the
13 Chamber of Commerce as constituencies, as part of
14 your constituencies to help develop this.

15 I think, like I point out, we're there to
16 be part of the solution, but not the problem.
17 But the means to that end I think should
18 encompass and incorporate the stakeholders from
19 throughout California. So, thank you so much.

20 MR. SHIRAKH: Thank you. And if I can
21 make a couple of points on the very important
22 issue of affordability. On the question of
23 insulation, how we do the costs, we actually do
24 talk to both builders and the building insulation
25 manufacturers often. Sometimes we have meetings

1 here and bring them all together to come up with
2 new ideas and then exchange ideas. So, it's all
3 of them.

4 MR. OBALDIA: Yeah.

5 MR. SHIRAKH: On affordability, what I
6 can tell you is that in our standards we're
7 required to demonstrate cost effectiveness to the
8 homeowner. Every single measure we put in has to
9 be cost effective from the homeowner's
10 perspective.

11 With the 2016 Standards we did that,
12 we're going to do it for 2019. That \$10,000 cost
13 that I mentioned in an earlier slide, it will
14 result in an increase in the mortgage to the
15 homeowner. It might be, based on a 30-year
16 mortgage, 3 percent interest rate, I mean I don't
17 know the math, but we worked it to be around \$11
18 to \$12. I don't know, but I'm just speaking.

19 MR. OBALDIA: Yeah.

20 MR. SHIRAKH: But the utility bill
21 reduction for that same home is going to be
22 reduced by probably more than twice that amount.
23 So, from day one there's going to be a benefit to
24 the homeowner because their overall cost is going
25 to be -- there's going to be a reduction.

1 MR. OBALDIA: I think we're in agreement
2 of that. But I think before that homeowner
3 purchases that home, they first have to get the
4 20 percent down, and so forth.

5 MR. SHIRAKH: They have to quality,
6 right.

7 MR. OBALDIA: Because I've been in that
8 situation. I'm not looking at what my energy
9 costs are going to be once I'm in there; I'm
10 looking at what's the cost of buying a home,
11 period. And if you have inflated numbers, if
12 there's a disparity between what you feel, what
13 you think based on your analysis in terms of what
14 the insulation costs are, and the home builder's
15 providing perhaps a different perspective, I
16 think that's the part of the discussion that
17 needs to take place.

18 MR. SHIRAKH: Of course.

19 MR. OBALDIA: That ultimately the costs
20 are going to be borne by the consumer in some
21 way, shape or form.

22 MR. SHIRAKH: Right.

23 MR. OBALDIA: And I think that's a
24 discussion that, hopefully, will be entertained.
25 And that in the course of your rulemaking

1 authority that a greater discussion take place or
2 opportunities for real-world scenarios to come
3 into place. Because what you're talking about is
4 laudable, but if you talk to a mortgage broker
5 and so forth, and they say, well, those are -- if
6 you just added an additional \$10,000 cost based
7 on the rule that you're trying to promulgate,
8 well, that will have an impact on that person's
9 mortgage for 30 plus years. So, that takes away
10 the whole concept of what my electricity bill,
11 which is wonderful, but I think those are the
12 real-world discussions. How do we get
13 affordability and how do we get people into these
14 homes within a reasonable price point.

15 MR. SHIRAKH: Okay, thank you.

16 MR. OBALDIA: Thank you.

17 MR. STONE: Nehemiah Stone, Stone Energy
18 Associates. I want to respond to the previous
19 speaker. A couple, well, I guess it was the last
20 round PG&E sponsored a study that --

21 MR. PENNINGTON: Well, I think part of
22 the purpose of your comment is to explain this to
23 the previous speaker --

24 MR. SHIRAKH: We can't hear you.

25 MR. PENNINGTON: So, start over, please.

1 I think we need the attention of the previous
2 speaker for your comments to be useful, so my
3 opinion.

4 MR. OBALDIA: I'm sorry?

5 MR. STONE: I'm responding to you.

6 MR. SHIRAKH: Nehemiah is going to
7 respond to your comments.

8 MR. STONE: So, in the last round PG&E
9 sponsored a study that the UCLA Anderson Forecast
10 did to try and figure out what the relationship
11 is between the cost of construction and the price
12 of a home, and changes of costs due to standards
13 in particular. And they found that there's
14 absolutely no relationship.

15 So, making an argument that increasing
16 the measures in the code towards efficiency
17 increases the price of a home is not correct.

18 It is correct to say that it affects the
19 contractor's profit. It is not correct to say
20 that it affects the price of the home.

21 That study was -- I'm happy to put it on
22 the record again, if necessary, but the study was
23 pretty conclusive that this is a demand-driven
24 market. It is not an inputs-driven market. A
25 lot of things, the cost of the inputs affect the

1 price, the sale of the object afterwards. In
2 this market that's not the case.

3 MR. OBALDIA: Great. And that might be
4 the case. But our concern is let's have that
5 transparency, that really is. Because it's an
6 apples and oranges concept here in terms of how
7 the costs are ultimately going to be borne. And
8 that's all. Like I pointed out at the outset
9 what you're doing is laudable, it's in concert
10 with what we're moving towards with renewable
11 energies and so forth, but it's just the end.
12 The means to that end may have some unintended
13 consequences, that's all.

14 And having been in the public policy
15 arena, I know what happened with deregulation in
16 the early nineties and so forth, and the
17 consequences of that.

18 So, it's just as you're formulating
19 public policy issues you can never discount
20 things that may transpire. So, that's all we're
21 saying. Thank you.

22 MR. SHIRAKH: Thank you.

23 MR. PENNINGTON: I'd like to also respond
24 a little bit. Mazi understated the extent to
25 which the Commission tries to engage the industry

1 related to costs, and having discussion with the
2 builders that are thorough to try to vet why cost
3 estimates might be different. The Commissions
4 spends tons of person hours to address that and
5 get into dialogue with the industry. Not only
6 the building industry, but also the suppliers.
7 So, there's a bunch of dialogue that occurs
8 that's natural in our process.

9 The other thing I wanted to say is that,
10 so, there's two different brands of affordability
11 that's in discussion here. And you're bringing
12 up one brand of affordability.

13 There's another brand that is basically
14 HUD's definition of affordability, affordable
15 housing. And that definition includes the cost
16 of ownership and the cost of operation of the
17 home, and those two in combination need to be
18 affordable.

19 And so, explicitly in HUD's definitions,
20 HCD's definitions is included the ownership cost
21 and the cost of utilities. And so, the totality
22 of that is what actually defines affordability
23 for affordable housing from their vantage point.

24 And so, as Mazi was saying, we have an
25 obligation to make our requirements cost

1 effective. So, any additional cost that we
2 impose, we're required to demonstrate that we
3 exceed that cost in savings through the utility
4 bill. So, as long as we do that and, you know,
5 we work hard to do that, by definition we're
6 making housing more affordable according to HUD's
7 definition and HCD's definition.

8 So, in terms of I appreciate there's more
9 than one brand of affordability, but according to
10 that brand we're kind of one of the only agencies
11 that impose building code requirements that
12 actually cause the housing to be more affordable
13 by definition, and we're required to do that.

14 MR. OBALDIA: And I agree. It's just how
15 you view that, through what prism in terms of
16 affordability.

17 And affordability, you're using the HUD
18 standards and so forth. But the real-world
19 standards, trying to buy a home in San Francisco,
20 as opposed to Fresno, there's a disparity. I
21 mean, you have to make over \$100,000 in certain
22 instances, as a family, to afford a home in San
23 Francisco, as opposed to Fresno.

24 So, I think the notion of affordability
25 now has been interchanged in terms of what it is.

1 MR. MEYER: Yeah, I think you left a zero
2 off on the income for San Francisco. But, yeah,
3 it's something that I know that CBIA, and others
4 at the Energy Commission have had a lot of
5 discussions with the financial community trying
6 to get them to recognize initial cost versus cash
7 flow.

8 MR. OBALDIA: Yeah.

9 MR. MEYER: And as Bill talked about,
10 really, we're looking at saving people money on
11 cash flow so that they're not -- get into a house
12 they can afford initially, but they lose the
13 house because they can't afford the utilities.

14 MR. OBALDIA: Precisely.

15 MR. MEYER: But we can advance standards
16 so that they have a house that's affordable for
17 long term. But if they can't get into that house
18 because the financial community doesn't recognize
19 that, they just look at that initial cost, then
20 that's where we have a disconnect, and that's
21 something that CBIA has brought to our attention
22 and we've looked at a lot. And, ultimately, that
23 would be a wonderful thing to get the financial
24 community to put more emphasis on the long-term
25 affordability of the house, instead of the

1 initial first cost.

2 MR. OBALDIA: No, I agree. I think
3 that's why we want to be part of the discussion,
4 the overall discussion not only at the CEC, but
5 CARB, and any other rulemaking regulatory
6 authority. So, thank you, appreciate that.

7 MR. SHIRAKH: Thank you.

8 Marshall?

9 MR. HUNT: Good morning, Marshall Hunt,
10 Pacific Gas & Electric Company, Codes and
11 Standards.

12 I personally want to make the observation
13 that this is an amazing instance of leadership
14 and creativity. If you'd told me a year ago we'd
15 be at this place, I wouldn't have believed it.
16 So, I really appreciate the way in which you've
17 all, all the staff --

18 MR. SHIRAKH: You're making me blush,
19 Marshall.

20 (Laughter)

21 MR. HUNT: That's okay because I've been
22 doing this for long enough to really appreciate
23 the work that's gone into this.

24 But we need more time to comment. You've
25 really shaken things up and you've really

1 challenged us with a lot of good ideas.

2 So, the due date on the comment I think
3 is September 1st. And if you could give us at
4 least another week and maybe two weeks, you'd get
5 a much higher quality response. It just takes
6 time to get the various groups within our
7 organization to get focused and get a good
8 comment letter into you.

9 MR. SHIRAKH: Simon, can you find it in
10 your heart.

11 MR. BAKER: Give me a minute. I can't
12 make a motion, but thank you.

13 MR. SHIRAKH: That's Payam's call. What
14 do you say? George?

15 MR. NESBITT: George Nesbitt, HERS rater.

16 MR. BOZORGCHAMI: Hold on, George, one
17 second. Sorry.

18 This is Payam at the Energy Commission.
19 Would September 6th work for you, Marshall?

20 MR. HUNT: I think the 13th. The 6th is
21 over Labor Day weekend.

22 MR. BOZORGCHAMI: I understand. The
23 reason is we're trying to get everything wrapped
24 up by the end of September to have the express
25 term workshops here, at the Energy Commission.

1 So, I'm sorry --

2 MR. HUNT: I'll take what I can get,
3 personally, and so we can work over the Labor Day
4 weekend, that's good.

5 (Laughter)

6 MR. BOZORGCHAMI: Sorry. I'll be
7 working, too.

8 MR. NESBITT: Double overtime. George
9 Nesbitt, HERS Rater.

10 The grid currently, roughly, has about 20
11 percent renewable, and that's eligible. So, non-
12 eligible adds to that. And our goal is for 50
13 percent.

14 So, my house, sitting as it is without
15 PV, is only, you know -- the electricity use is
16 only increasing in the amount of renewables over
17 time.

18 So, the question is does it really make
19 sense to have a new house generate 100 percent of
20 its electricity? I don't think it does.

21 Some potential consequences of this, I
22 think in the short term we're going to see what
23 we saw when demand in Germany went up. We'll see
24 some supply shortages. There will be less price
25 competition. We may have labor shortages. We'll

1 get over those eventually. Those will be short-
2 term implications.

3 But I think the longer-term implications
4 are really back to my comments on sizing and 100
5 percent, and based on predicted use, not actual
6 use.

7 And some of those consequences, what we
8 have is people will use more electricity because
9 for some reason they're not getting the benefit.
10 We've seen that with net metering all along.
11 They didn't get their credit back so they through
12 in an electric water heater to use more
13 electricity.

14 So and then there's the impacts on the
15 grid, the duck curve. Currently, there's
16 something like 5 megawatts of behind-the-meter,
17 net-metered PV. Grid-side, there's like 12
18 megawatts.

19 And I'm not sure of the exact number but
20 what, approximately, 20 percent of new homes have
21 PV currently. And I believe that someone
22 mentioned that Bob and CBI said, and he'll
23 correct me if I'm wrong.

24 We're looking at potentially what, a
25 sevenfold increase of PV installed on new homes

1 and we're not even talking about existing
2 buildings.

3 So, if the duck curve is already a
4 problem, that one-third net meter is a part of
5 the duck curve, whether people recognize it or
6 not. So, we will only be making the problem
7 worse.

8 And storage, and especially battery
9 storage is the most expensive way to deal with
10 this problem.

11 Now, I've installed PV. I like renewable
12 energy. It's all good, right. But I think the
13 proposal as it is, is too much PV and not
14 requiring storage is the wrong proposal.

15 Just a couple of other things.
16 Enforcement. We know we have enforcement
17 problems. So, what happens if one person builds
18 a house, they have to put their PV on and the
19 next person doesn't?

20 And another issue is I've installed PV
21 systems on my parents' house in Berkeley, and we
22 had to have an appraisal because my mom died in
23 January, and the appraiser flat out said the PV
24 systems actually detract from the value of your
25 house because people don't want to buy it and

1 they don't want to have to deal with it.

2 So, we have major problems in how
3 efficiency and even renewable is valued in the
4 marketplace.

5 MR. SHIRAKH: Thank you, George.

6 Next, please.

7 MR. LOHR: Good morning, Olaf Lohr from
8 Sonnen. Yeah, great initiative, great proposal
9 that you have brought forward. Really appreciate
10 the efforts that you put in there.

11 I just want to speak a little bit about,
12 actually, the value of energy storage and
13 challenge a couple of the assumptions that you
14 are making.

15 Initially, you outlined the duck curve
16 and the problems that it poses, resulting in low
17 value of power during the midday, low value of PV
18 export and, actually, a higher demand of evening
19 energy. And also, a tremendous need for DR.

20 And as it stands, and that it was also
21 outlined in the presentation, all of the
22 assumptions were based on net metering 1.0 that
23 is --

24 MR. SHIRAKH: 2.0.

25 MR. LOHR: Well, I would actually say

1 1.0. Because initially the time-of-use value, as
2 we see it in 2.0, which is really a 1.5, isn't
3 really that tremendous. Many of the studies
4 right now actually outline that even if you
5 install energy storage right now at the current
6 time-of-use are going to be implemented, the
7 value of energy storage isn't all that great.

8 Exactly that slide here actually outlines
9 that the value of PV exported is very similar to
10 the retail value.

11 MR. SHIRAKH: This is the one we're
12 using, actually, this scenario.

13 MR. LOHR: Okay, but this is only for the
14 surplus generation.

15 MR. SHIRAKH: So, yeah, surplus is going
16 to be avoided cost. Behind-the-meter, self, uses
17 that retail.

18 MR. LOHR: Exactly. So, I really think
19 in the end the current rate structures of net
20 metering 1.0 and also the rate structures that
21 are going in for the next two years really don't
22 reflect value of energy storage. And I think it
23 really needs to go into those calculations that
24 are proving in. I also encourage you to, and
25 that's maybe not specifically your task, but I

1 think it's the task of the Energy Commission to
2 move forward and really work on rates that
3 encourage energy storage, right.

4 MR. SHIRAKH: Yeah.

5 MR. LOHR: That actually value the time
6 shifting, value the DR, value also the evening
7 time-of-use rates. And really appreciate the
8 tremendous value that energy storage can provide
9 to the grid.

10 And as that, I would also challenge the
11 assumption that energy storage prices will drop
12 like a rock. They're definitely going down, but
13 they're not going to be at a point where it's
14 free, right. Energy storage will have its cost
15 because it also has its value.

16 My wife always said things that are cheap
17 or free, they don't have any value.

18 (Laughter)

19 MR. LOHR: And because I want to conclude
20 with that we don't want to end up with in a
21 scenario where we encourage the installation of
22 energy storage in our new homes and then the end
23 customers, they don't see value in it because it
24 doesn't change anything in their rates, and then
25 they actually turn off those batteries.

1 So, that's what I really encourage you to
2 move forward and create rates that actually
3 encourage the usage of energy storage.

4 MR. SHIRAKH: Thank you.

5 MR. BOZORGCHAMI: Excuse me.

6 MR. SHIRAKH: Am I correct that the time-
7 of-use rate schedules that correctly evaluate --
8 that values energy at different times that could
9 favor PV and storage, but that is important but
10 it's not part of the building standards
11 development process. That's more of a CPUC,
12 utilities realm.

13 MR. LOHR: Right, I do understand it.
14 But we actually have to look into this, paint the
15 picture from all of the different aspects, and
16 also put those assumptions in there.

17 MR. SHIRAKH: Thank you.

18 MR. BOZORGCHAMI: Excuse me, sir can you
19 repeat your name and your affiliation one more
20 time?

21 MR. LOHR: Yes, my name is Olaf Lohr,
22 with Sonnen.

23 MR. SHIRAKH: Thank you, sir.

24 MR. BOZORGCHAMI: Thank you.

25 MR. KENNETH: Well, my dear, esteemed

1 colleague from Germany, Olaf Lohr, I am also from
2 Sonnen. WE are a leader in residential energy
3 storage. We are a German company in the United
4 States, now. We have 20,000 real installations
5 around the world.

6 And I think what I'd like to do is just
7 start out by saying that there's a little to be
8 learned, I think, from our friends in Germany.
9 I'm sure some of you have already studied the
10 electricity grid in Germany. The episodes that
11 we go through.

12 And I was just on the phone this morning
13 with my boss, our CEO and founder. He continued
14 to remind me that, you know, the Germans have
15 been through some of the same stuff that we're
16 going through right now ten years ago, with the
17 extensive amount of renewable energy penetration.

18 So, we learned a little bit about this
19 topic and that's why we came here to make sure we
20 just at least share a few items. And it is
21 absolutely the case that we support this
22 direction of the code. It's a wonderful
23 direction.

24 Sonnen has the largest distributed
25 network of energy storage systems in the world,

1 in Germany. We have 17,000 systems that are
2 already aggregated to the virtual power plant
3 software layer. We already do what most people
4 talk about here in this country and we've been
5 doing it for years in Germany.

6 And what have we learned? Well, grid
7 harmonization enables a true clean energy future.
8 We've learned that.

9 We've learned that a distributed network
10 of energy storage systems, coupled with rooftop
11 PV should be deployed for the purpose of
12 supporting the grid and offsetting many of the
13 challenges associated with the intermittency and
14 unpredictability of renewables, helping to kill
15 the duck.

16 So, solving a problem, enabling a mass
17 adoption of clean energy. This is somewhat of a
18 repeat of what you've already heard, but I think
19 it's still important because this is the position
20 I wanted to make sure everyone heard on the
21 record.

22 A distributed network of energy storage
23 systems can also add net new value to the overall
24 grid infrastructure, as I think most of you know,
25 and not just solve a problem. Now, that's a

1 different thing.

2 For example, offsetting peak periods as
3 an aggregated virtual power plant, we already do
4 that. Coupled with demand response programs and
5 we already do that.

6 The ultimate idea is to create a
7 significant investment deferral opportunity, try
8 to get rid of some peaker plants, for instance.
9 Cheaper, cleaner and more efficient due to the
10 decentralization. I challenge you to Google
11 Sonnen Community, S-o-n-n-e-n Community and learn
12 about how we do that now.

13 We also have a peer-to-peer clean energy
14 trading platform.

15 So, other grid services, like frequency
16 regulation and voltage support can actually add
17 value and help defer grid investments, including
18 TND investments. So, energy storage can become a
19 fully effective, non-wire TND investment
20 deferral.

21 That said, and this is an important point
22 and why I'm here, utility support is the key to
23 the overall affordability. At least that's how
24 it works in Germany. That's how the math works.
25 Otherwise the math doesn't work. The costs that

1 you're talking about are a little nuts.

2 We do real energy storage systems that
3 are actually installed and work. And right now
4 the costs that you have on there, on the board
5 are based on some assumptions, perhaps from some
6 other companies, and these assumptions are not
7 very well, in my mind, vetted.

8 If a utility proactively invests in
9 energy storage systems that a home builder is
10 standardizing on in a development, which are
11 coupled to PV rates to bring real value to the
12 overall electricity grid then, my friends,
13 there's a shared cost which enables an affordable
14 home and a low electricity bill. Which is what
15 our other friend was talking about trying to get
16 an affordable home and a low electricity bill and
17 we've got some very nice proofs of concept.

18 In Germany, a home builder doesn't have
19 to increase anything, obviously, because the
20 utility is investing directly in the energy
21 storage system and utilizing it, which is quite
22 nice.

23 So, there's great support for this zero
24 net energy new construction initiative. We are
25 very excited about it. There should be an

1 option, in our opinion, for true energy
2 independence which is, of course, when you have
3 an energy storage system that is not being
4 controlled by the utility because you want to be
5 independent.

6 Or, an energy self-sufficiency and
7 security system which assists in the overall
8 stability of the electricity grid, that more
9 carbon-neutral living. That, of course, alludes
10 to an energy storage system and PV rate that are
11 controlled by the utility.

12 So, in Germany you can join the Sonnen
13 Community, which would mean that the grid
14 operator is working with your battery every day,
15 but you don't have to. It's not a mandate. You
16 could just stay completely independent. So, that
17 choice, I think, is a pretty important benchmark.
18 Because as soon as you say every energy storage
19 system must be controlled by the utility for grid
20 stabilization, then you get some really unhappy
21 consumers who say you're taking away their
22 freedom.

23 But if you offer an incentive for
24 utilities to get involved, then utilities seem to
25 get involved. There's not a lot of pushback

1 against it. And then, you also have your
2 independence people who can remain independent
3 and not have the utility use their battery for
4 demand response and frequency regulation, et
5 cetera.

6 So, that's the prepared remarks from
7 Sonnen. And we hope to be a part of this more.
8 We're obviously only in this country, now, for
9 about a year. But I think it's a very important
10 benchmark and we have a lot of good information.

11 MR. SHIRAKH: Thank you for your
12 comments.

13 MR. PENNINGTON: Just a quick question.
14 In Germany, do you have tiered rates that you're
15 dealing with or, I'm sorry, time-of-use rates?

16 MR. KENNETH: Yeah, so the German
17 structure has -- it depends on what area of the
18 country and the grid operator. There's four grid
19 operators. Right, Olaf?

20 MR. LOHR: Correct. So, there are --

21 MR. SHIRAKH: Please come up to the
22 podium so you can --

23 MR. KENNETH: You also have a lot of
24 limitations on grid --

25 MR. LOHR: Right. So, there are

1 definitely tiered rates. And most of all the
2 biggest difference is a different valuation of PV
3 export. So, you can only export up to 60 percent
4 of your self-consumption. And also, anything
5 over that is basically worth only the wholesale
6 cost of energy.

7 MR. PENNINGTON: Okay. I mean, do you
8 have like at different times of the day are there
9 different rates?

10 MR. LOHR: Yes, absolutely.

11 MR. PENNINGTON: Okay, thank you.

12 MR. KENNETH: Just to add onto that, I
13 want to point out that that was a matter of
14 necessity that started to happen. I mean,
15 there's so much renewable in Germany, right, that
16 in our Sonnen Community when existing rates go
17 negative because there is more renewable
18 generation than there is load in the entire
19 country, on a sunny and windy day in August, we
20 have to take the -- our Sonnen Community members
21 take energy off the grid and are paid to do it
22 because there's literally no place for that
23 energy. The duck curve is so fat that it can
24 completely bring down the grid. And they can't
25 just send it to France, right.

1 So, it's an interesting benchmark and I
2 think it's nice to look at because I always hear
3 every day, and I was at Tesla before I was at
4 Sonnen, and we talked all the time about
5 different U.S. States. No one every talks about
6 a country that some days has over 100 percent of
7 its load renewable. That's probably a good
8 benchmark.

9 MR. SHIRAKH: Thank you.

10 Francesca?

11 MS. WALL: Hey, Francesca Wall with
12 Tesla. I'd also like to thank the Energy
13 Commission staff for their leadership on this
14 code cycle, especially in terms of incorporating
15 storage.

16 I'm going to focus just briefly on a
17 couple of comments around storage that Tesla's
18 made in the past, and also build off of some
19 things that Bob, from CBIA focused on.

20 And then, I'm also going to read comments
21 from CESA, on behalf of them. They were not able
22 to join.

23 But I'll start with Tesla's comments.
24 So, as has been discussed a lot today, batteries
25 can help meet state and local GHG reduction

1 targets for deficiency and home design ratings.
2 We believe that battery storage is one of the
3 most flexible measures to meet the EDR and reduce
4 the home TDV, considering its ability to offset
5 electricity consumption from any home load, at
6 any time of the day.

7 Furthermore, a builder should have the
8 flexibility to achieve design standards and
9 batteries should be evaluated as their own
10 category of credit/measure.

11 You know, a lot of people talked about
12 the ability of batteries to be charged from
13 inexpensive, or off-peak TOU, or negative priced
14 electricity, load GHG emission grid power, or
15 zero emission onsite renewables.

16 So, building on that, if PV is installed
17 above and beyond the prescriptive PV amount, then
18 we believe that additional energy generated from
19 PV that is used to charge the battery and
20 discharged to avoid the electricity imported from
21 the grid should be valued at the full TDD that it
22 offsets.

23 And, furthermore, batteries have their
24 own set of customer benefits that vary from other
25 efficiency measures or renewable measures, so

1 they should be evaluated accordingly.

2 Finally, we said this before, but we
3 believe that batteries should be fully valued for
4 their ability to reduce the EDR and TDV. And
5 batteries should be allowed to offset
6 prescriptive energy efficiency in PV measures
7 through the perform compliance approach.

8 And creating a battery credit that is
9 allowing for the adoption of a new and very
10 valuable technology to compete on an equal
11 playing field, with all technologies, is
12 incredibly important. A battery credit should
13 not be seen as a competitor to other specific
14 industries but, rather, batteries can offset all
15 technologies and are not meant to offset any
16 single measure, efficiency or renewables.

17 So, I'll end my remarks with that and
18 then I will read CESA's comments.

19 So, the California Energy Storage
20 Alliance, or CESA wasn't able to be here for the
21 public remarks, but CESA's policy director, Alex
22 Morris, requested that I read this statement.

23 "CESA supports the path forward where the
24 benefits of storage and promoting a low EDR,
25 integrating, helping customers smartly capture

1 and manage electricity use, and potentially
2 supporting the grid are valued. The information
3 shared so far indicates P values for storage are
4 being considered. We look forward to further
5 ensuring storage has a place in new building
6 standards.

7 We know that many in the buildings,
8 safety and firefighter groups, or trades are
9 looking actively at storage. Storage is key with
10 helping with the duck curve and is not only a
11 smart addition to most new-build buildings, but
12 also is cost effective in many applications.

13 Furthermore, storage should be fully
14 valued for the benefit it provides as a separate
15 category and thereby given the opportunity to
16 offset prescriptive efficiency in PV measures in
17 the performance compliance approach.”

18 That’s it, thank you.

19 MR. SHIRAKH: Thank you, Francesca.

20 Good morning.

21 MR. KNUDSEN: Good morning. I’m Kelly
22 Knudsen with the California Solar Energy
23 Industries Association. Thanks again for the
24 opportunity to comment here. I’ll keep my
25 comments as brief as possible.

1 We're urging the CEC to reach the full
2 zero net energy goals in this code cycle for the
3 stated goals. Efficiency is important and
4 generating and storing your own electricity is
5 equally important in meeting that goal. And I'm
6 hoping that we can all work together to get
7 there, as it sounds like the tone that's coming
8 through today.

9 Echoing what Bob had mentioned earlier,
10 builders should be allowed the flexibility to
11 choose the compliance option and at a minimum the
12 compliance credit for the PV should remain in
13 place. And we're seeing that PV and storage
14 could be combined into that compliance credit, as
15 what's been discussed here today.

16 As number seven in the goal you listed
17 earlier, the model ordinance, we signed on to
18 NRDC's comments earlier in the cycle. As
19 somebody who deals a lot with the different
20 jurisdictions that are trying to figure out how
21 to meet the stretch goal, these model ordinances
22 can be very helpful and it's great to have that
23 guidance. So, I'm glad to see you guys are
24 developing that.

25 On the grid harmonization, I'm pretty we

1 may have some written comments, especially what
2 dumb PV might be. But I might just say that
3 there are smart inverters that can be coupled, or
4 inverters in general with solar that can,
5 hopefully, make it harmonize well with the grid
6 as is and then, of course even with storage on
7 site.

8 And then, I'm just curious about what
9 some of those optimum battery controls are, but
10 those are things that can definitely be discussed
11 further.

12 And also, I appreciate seeing about the
13 all-electric homes and how we can meet that. I
14 just want to make a point for solar water heating
15 and solar thermal, as well. I know that's been a
16 different session. But since I saw the
17 mentioning of the heat pump, I just want to at
18 least put the plug in there for solar water
19 heating. It can also help out with that.

20 So, we'll be providing written comments
21 as well, likely the CIA has before on these
22 technical issues, and figure out what we can do
23 to have strong zero net energy homes, with solar
24 and storage on the grid. And, hopefully, we can
25 all get there without Santa Clause. Thanks.

1 MR. SHIRAKH: Thank you for your comment.

2 MR. CAIN: Joe Cain with the Solar Energy
3 Industry Association, and that's a national solar
4 energy association. Kelly's with the California.

5 I'm going to do this without a net
6 because of so many things I've heard today. And
7 some of the points Kelly made I think are really
8 important points and I want to expand on some of
9 those.

10 And the first one is I think that, you
11 know, we've been hearing about zero net energy
12 for about ten years, and there's hundreds of
13 articles written about California's going to get
14 to zero net energy by 2020.

15 And I see videos of our Governor,
16 Governor Brown saying that, you know, with
17 pulling out of the Paris Agreement that, you
18 know, where the Federal Government fails to lead,
19 California will continue to be the leader.

20 I just have to say that I think we could
21 get to zero net energy in this cycle and I'm
22 really not looking forward to reading a couple of
23 hundred articles about how California couldn't
24 get there, even California couldn't get there in
25 this cycle.

1 So, I'd like the Commission to continue
2 the efforts to try to get there and I'd like to
3 see zero net energy.

4 Another thing that is, again, more of a
5 general comment is that we -- well, first, I'm
6 going to say that I really hate clichés. And
7 sometimes I say if I hear one more person say
8 low-hanging fruit, I think I might scream.

9 But efficiency and renewables, you know,
10 about 12 years ago we started talking about
11 loading order, and we put distributed energy and
12 PV, you know, essentially in the last position.

13 The basis of that was, at that time, it
14 costs less to save a Btu than it does to generate
15 a Btu.

16 I ask people all of the time what has
17 changed in the last 10 or 12 years and the
18 answer, of course, is everything. I mean, the
19 state of building science then, the cost of solar
20 then, things have radically changed.

21 But part of the, well, maybe unintended
22 consequence, part of the negative part of the
23 loading order is that we have put ourselves in
24 silos. And we have even organizations that have
25 energy efficiency people and renewable energy

1 people in the same organization. What I find
2 over and over again is that they don't talk with
3 each other. They're each doing their thing.

4 And in our industry, we're kind of
5 accustomed to my stuff is better than your stuff.
6 But I think we really have a case where energy
7 efficiency and renewable energy are equally
8 important and should have equal standing. And
9 that we have storage, we have EV charging, we
10 have all of these other things to go with it.

11 And they should all be part of a clean
12 energy economy, they should all be part of the
13 solution, and they should all have equal
14 standing.

15 And in one particular case we heard, you
16 know, we've heard of course testimony that, you
17 know, we should discontinue the credit for PV
18 against any other measure.

19 Now, you've found in this proceeding
20 we've seen that -- I've seen multiple ways to
21 shrink the size of the PV, multiple ways to put
22 it in last position and make it smaller.

23 But then when it comes to can I offset
24 some other measure to have an overall building
25 that is more affordable, and that's another key

1 word we heard today, can I do any other
2 performance tradeoffs? And the answer so far is
3 no, you can't. And some people still argue for
4 no, you can't.

5 So, my question is why would the
6 Commission that is so bound to cost effectiveness
7 force builders to choose an option that may be a
8 less cost effective option?

9 And I'm going to give an example. I hope
10 I can spend the time. Driving to 2-by-6 walls,
11 when it's not required structurally is one thing.
12 I'm a civil engineer, I do structural
13 engineering. And when I think about Green Codes
14 that typically say we should save lumber waste
15 and we should be thinking not only about carbon,
16 but about embedded energy, and transportation,
17 and everything else, I think about driving walls
18 to 2-by-6 walls simply to fit more insulation is
19 -- that's a cost driver.

20 And so, I would think that if 2-by-4
21 works structurally that that should still be an
22 option for the builder to consider. And by the
23 time you get to an end of a project you should be
24 able to find the most cost effective.

25 So, I think that there's certain measures

1 that on their own may be found to be cost
2 effective, but I think there's also an
3 opportunity cost if you don't allow another
4 option that is more cost effective to be part of
5 the overall solution.

6 So, those are some of the key points, I
7 think. In terms of tradeoffs, in terms of the
8 overall solution and bringing everything
9 together, the Solar Energy Industries Association
10 is extremely supportive of storage, to bring that
11 into the overall solution. We understand that it
12 solves multiple problems and we're ready for it.

13 In terms of cost effectiveness, one of
14 the issues that we have is, you know, we have
15 often asked questions about where do these cost
16 figures come from? We've heard that they come
17 from talking with the manufacturers and from
18 industry. SEIA would be happy to share cost
19 information. I report into the research team
20 there. We still feel, and we've commented on
21 this in the past and received zero response, we
22 still feel that the cost estimates for PV are
23 over-estimated. And then, we also heard that
24 some of the value of PV is discounted, cut in
25 half.

1 And then, we have heard questions coming
2 from the building industry about where do some of
3 the cost figures come from for the efficiency
4 measures.

5 So, I think because the whole thing is
6 based on cost effectiveness, you know, we would
7 like to see more dialogue, open dialogue on where
8 do these figures come from.

9 So, again, I just want to close with we
10 feel efficiency, renewables absolutely important.
11 You know, you have to have a great envelope, you
12 have to have a good quality of construction, but
13 we do feel that renewable measures should be on
14 equal standing with efficiency and that there
15 should be an overall cost-effective solution that
16 makes us have more affordable housing.

17 MR. SHIRAKH: Thank you, Joe, appreciate
18 it.

19 Any other comments from inside the room.
20 Good morning.

21 MS. GARCIA: Hi, I'm Daniela Garcia with
22 SoCal Gas. SoCal Gas wants to thank the Energy
23 Commission for the work that has been done on the
24 2019 Building Standards. We support the CEC's
25 focus on our ratepayers, the lifecycle cost and

1 grid harmonization issues. We also support your
2 sensitivity analysis that was shared today for
3 the possible future changes for the NEM rate.

4 We commit to reviewing the content
5 presented today and will provide any substantial
6 comments in the docket. Thank you.

7 MR. SHIRAKH: Thank you, Daniela.

8 MR. KENNETH: This one will be quick,
9 promise. So, I just think one of the very
10 important details I want to encourage --

11 MR. BOZORGCHAMI: I'm sorry could you
12 state your name, please?

13 MR. KENNETH: It's Lather Kenneth,
14 Sonnen.

15 So, once again, a very important detail
16 from the energy storage industry. Again, from a
17 learning that we had in Germany, as well as in
18 the U.S., but the make and model of an energy
19 storage system is a pretty important thing. And
20 I think in the very immature and early stage
21 American market a lot of folks aren't really
22 looking at that specific detail.

23 In other words, how long does this energy
24 storage system last? What is the battery
25 chemistry? What is the cycle count? And what is

1 your original stated charge at 700 cycles, 800
2 cycles, 900 cycles?

3 So, if you have a battery that lasts
4 10,000 cycles versus 800 cycles, or a battery
5 that claims it can last 1,000 cycles, but has
6 never been proven to last 400 or 500, this is a
7 pretty important detail when you look at cost.

8 Because if you're just basing your
9 analysis on cost of the energy storage system and
10 not the cost of the energy storage system when
11 taking into account all energy stored in the life
12 of the system, so what is the cost of kilowatt
13 hour stored versus just taking the price and
14 divide it by kilowatt hours of one single stated
15 charge and saying that's the price.

16 Well, if the system only lasts 500
17 cycles, which we learned pretty quickly in
18 Germany -- Sonnen wasn't doing it. But a lot of
19 companies, hey, we've got the cheapest energy
20 storage system around, hey, the cost is down.
21 Yeah, when you cycle it every day it's done in a
22 year and a half, two years. That's not so good
23 for your efficiency standards.

24 So, if you have an energy storage system
25 that lasts 25 years there's value to that. And I

1 just would love to make sure that the
2 organization that you guys look at cycle count.
3 Longevity of the actual energy storage system is
4 pretty important in the battery world.

5 MR. SHIRAKH: Important point, thank you.

6 MR. MEYER: Okay, it is. Christopher
7 Meyer with the Building and Standards Office. I
8 just want to make sure that everyone who's made
9 comments get your card or your information to the
10 reporter so that she can get your names
11 accurately.

12 MR. SHIRAKH: I just want to say that
13 this is running a little bit longer than
14 anticipated. We may have to start the CPUC's
15 presentation after lunch.

16 What do you think, Payam, are you --

17 MR. BOZORGCHAMI: I think so. I think if
18 we go -- I don't know how many more commenters
19 are going to be presenting or talking at the mic
20 but --

21 MR. SHIRAKH: We still have online
22 comments. You know, we can decide at --

23 MR. BOZORGCHAMI: We have one commenter
24 online and maybe one more in here. So, yes, if
25 it's okay, we would like to do the presentation

1 with the CPUC after lunch.

2 MR. SHIRAKH: Jon, did you have a
3 comment?

4 MR. MCHUGH: Jon McHugh, McHugh Energy.
5 I'd just like to respond to a couple of comments
6 made previously. I got started in the energy
7 industry back in the early 1980s, installing
8 solar water heaters, so I've got a great
9 appreciation for renewable energy.

10 But also related to the issues of
11 longevity, looking at tradeoffs between the
12 efficiency of the envelope for the building, it
13 does really bring back the whole question of the
14 duration of the measure.

15 You know, and relates to the whole issue
16 of what's considered lost opportunities.

17 Retrofitting solar, retrofitting air
18 conditioners, those sorts of things are things
19 that are -- they're more costly, of course, as a
20 retrofit. But installing insulation after the
21 fact, as a retrofit, is extremely expensive.

22 And in addition, if we look at the
23 longevity of envelope components, those are
24 things that affect the State even beyond our 30-
25 year period of analysis that we use.

1 So, this is actually describing that
2 there actually is, potentially, a reason and a
3 rational for the loading order when we do look at
4 efficiency. And it does relate to the use of
5 resources. Those 2-by-6 boards that are brought
6 to the site, that additional energy of bringing
7 those boards to the site are well outweighed by
8 the value of having a more efficient envelope.
9 So, thank you very much.

10 MR. SHIRAKH: Thank you.

11 Any other comments inside the room?
12 We're going to go to -- go Joe.

13 MR. CAIN: Joe Cain with the Solar Energy
14 Industries Association.

15 We're not by any means saying that
16 efficiency is not important. We say that
17 efficiency and renewables are equally important.
18 And just as one -- and I don't want to drag up
19 all of the arguments because there's a lot of
20 them on this particular topic. But there's also
21 a benefit to installing solar with original
22 construction and full system size of the original
23 construction. And that has to do with, you know,
24 the construction methods that are used.

25 And one example I might give is that

1 there's a guy who figured out how to get a rocket
2 to return to earth and land upright, and he is
3 working on a solar roof.

4 And I'm not pitching a product; I'm just
5 saying one example. I'm just saying one example.
6 If a conventional roof covering was already
7 installed then, you know, at the time of the
8 original construction, then that is the retrofit
9 situation that we're talking about.

10 So, we want to have more flexibility for
11 the builders to choose whatever product and
12 whatever methods are most cost effective for that
13 particular building and that particular site.

14 MR. SHIRAKH: Thank you, Joe.

15 Nehemiah, a quick comment, and then we're
16 going to go to --

17 MR. STONE: Nehemiah Stone, Stone Energy.
18 I meant to ask this when I was up before and I
19 forgot. So, on the slide where you showed the
20 exceptions to solar you had single-family, three-
21 story. I didn't see anything for multi-family.
22 And can you just clarify what the -- how this
23 would apply to multi-family three-story?

24 I mean, is that exception supposed to
25 extend to -- that's the wrong slide. Showing the

1 exceptions to the size of the PV. Yes, there it
2 is.

3 So, exception three is for single-family
4 homes, three stories. What about multi-family?

5 MR. SHIRAKH: We should probably have the
6 similar for multi-family.

7 MR. STONE: Thank you.

8 WEBEX COORDINATOR: So, we're going to go
9 to a question online. Brandon, if you're ready,
10 I'm going to unmute you now. Go ahead and state
11 your name and affiliation.

12 MR. SHIRAKH: Brandon, can you hear us?

13 MR. DEYOUNG: I can hear you. Can you
14 hear me?

15 MR. SHIRAKH: Yes, go ahead.

16 MR. DEYOUNG: All right, this is Brandon
17 DeYoung, with DeYoung Properties. We're a
18 production home building in Fresno, California.

19 I'm going to try and be brief because I
20 know this is going long. I've got four key
21 points here to go through. The first one, and I
22 probably sound like a broken record to some of
23 you, but I just really want to urge everyone to
24 not call a home with a score, an EDR score of
25 zero, a zero net energy home, or ZNE, because

1 that would be inaccurate.

2 An EDR score of zero is based on TDV
3 value, as we all know. That's zeroing the value
4 of the energy, not the energy itself. So,
5 labeling a home zero net energy based on TDV is
6 not a good idea.

7 Builders, in my view, would get sued all
8 over the place for misleading advertising. And,
9 unfortunately, we live in California and that's
10 inevitable regardless. In fact, we're already
11 having debates, with our own attorneys, about
12 calling homes of ours that are zero net energy
13 based on a site or source definition, we're
14 already getting debates with our attorneys about
15 that and having to -- how to explain it
16 correctly, and should we even call it zero net
17 energy if you can't guarantee that it will be
18 after they move in.

19 So, I just really, really want to urge
20 everyone, please think seriously about calling a
21 home with an EDR score of zero as zero net
22 energy.

23 Can you still hear me?

24 MR. SHIRAKH: Yes, we can hear you.

25 MR. DEYOUNG: Okay. So, that's the first

1 thing. And also for time purposes here, you
2 know, yeah the next code we're seeing is not
3 going to be full zero net energy. And maybe it
4 never is because it will be based on TDV.

5 But builders now can, in theory, build a
6 home to EDR zero, right? And so, if that's the
7 case then some of them may start already hearing
8 you guys talk about that being a zero net energy
9 home and incorrectly start labeling their homes
10 done at EDR zero, as zero net energy.

11 My proposal is just call it an EDR zero
12 home, or a home that achieves a score of zero on
13 the EDR scale, or maybe just call it TDV zero.
14 Or, here's one last one, zero net value of
15 energy, ZNVE. Whatever you want to call it,
16 other than zero net energy because we're missing
17 that crucial value word in there. So, that's the
18 first point.

19 Another point is that I haven't really
20 heard any discussion about any analysis about
21 shading of solar systems on single-story homes,
22 where adjacent to two-story homes. And this is
23 especially an issue where you have a higher
24 density single-family development, with a mix of
25 two-story and single-story homes.

1 In our analysis, the issue of potential
2 shading of a tall, two-story home next to a
3 single-story home is actually pretty significant.

4 So, I encourage you guys to maybe look
5 into that a little bit more and consider the
6 ramifications of that.

7 MR. SHIRAKH: Isn't that in exception
8 number one, Brandon?

9 MR. DEYOUNG: I'm sorry.

10 MR. SHIRAKH: Isn't that our exception
11 number one where --

12 MR. DEYOUNG: Well, I guess. But let me
13 ask you this; let's talk about an example here.
14 If I have a single-family development, you know,
15 and one of our buyers -- and we don't pre-plot
16 our communities, right. Maybe some builders do
17 and they know exactly what plans are going to go
18 on exactly what lots.

19 But in our case, we allow our buyers to
20 select any one of our plans and build them on
21 generally any one of our lots. So, imagine one
22 buyer selected a two-story on one lot, and then
23 just randomly another person selects a single-
24 story home on another lot, so are you saying that
25 you would get a site-specific like exception for

1 that one single-story on that one single lot next
2 to the two-story?

3 MR. SHIRAKH: Yeah, I see what you mean.
4 Yeah, the exception number one is for an existing
5 building that's already out there. So, you're
6 talking about within the same subdivision having
7 a mix of --

8 MR. DEYOUNG: Yes, exactly.

9 MR. SHIRAKH: Yeah, we'll have to think
10 about that. I understand what you're saying.

11 MR. DEYOUNG: And believe me, like I
12 said, we're seeing this first hand in our own
13 analysis that that could be significant.

14 So, I also wanted to, so moving onto my
15 third point of the appraiser issue.

16 I know George already mentioned this, but
17 I just really want to emphasize. Again, I'm
18 telling you first hand that appraisers, at least
19 here in our area of the Central valley,
20 appraisers are not giving the true, full value of
21 a solar system. And so, therefore, if a buyer of
22 ours wants to purchase a system instead of doing
23 a lease, then that cost, that extra cost,
24 whatever is not appraised in the home value ends
25 up having to come out of pocket cash. And that,

1 obviously, is thousands of dollars.

2 Now, I understand Nehemiah's point,
3 saying, referencing that one study that, well,
4 that doesn't mean -- it's all based on the
5 demand, right. And if there's enough demand,
6 then the seller can force that extra cost onto
7 the buyer.

8 But if there's not enough demand, then
9 it's forced upon the builder to absorb that extra
10 cost.

11 Well, the problem is it's bad either way
12 you go. If it's the way Nehemiah says, then that
13 means builders will not -- it will start eroding
14 -- I'm sorry, hopefully, you can still hear me.

15 MR. SHIRAKH: Yeah, we can hear.

16 MR. DEYOUNG: Okay. It will erode the
17 builder's profits at some point and they will
18 either leave the State because they're no longer
19 profitable here and it's not a sustainable
20 business practices, or they'll go out of
21 business. And that's only going to exacerbate
22 our housing shortage issue of not building enough
23 supply to meet the demand. Which, obviously, is
24 not good right now because that just further puts
25 upward pressure on home prices, making

1 affordability even much more of an issue, and
2 that hits families here in the Central Valley
3 even more so, as we kind of referenced earlier,
4 because they tend to be a bit more lower income
5 than families in other parts of the State.

6 So, I just really want to urge that
7 appraiser issue. I mean, if appraisers were able
8 to fully value the cost of the system, and we're
9 hoping to do that in the monthly mortgage
10 payment, then we'd have much less of an issue,
11 frankly.

12 But I'm just telling you firsthand it's
13 not happening right now, at least in our area.

14 And then one final point here is that
15 someone also mentioned the cost of gas. It may
16 have been Nehemiah. The cost to include gas into
17 a community and in a given home.

18 I've actually run the numbers myself, in
19 our specific community, with the drought and if
20 we did go all-electric how much would that save
21 us on gas infrastructure and the cost of all of
22 that?

23 And while that cost savings was pretty
24 substantial and significant, there was also cost
25 increases. And maybe not in the long term, but

1 in the short term we would have to switch to
2 electric heat pump water heaters, heat pump space
3 heating systems, electric cooktops. You know, we
4 can talk about some of the residual use and why
5 they would cost us more.

6 But in all what I found is that it almost
7 ended up being a wash, if not a little bit of an
8 extra cost, still, to actually go fully electric,
9 even when you factor out the cost reduction of
10 removing gas infrastructure.

11 MR. SHIRAKH: Is that something you can
12 share with us, Brandon?

13 MR. DEYOUNG: Yeah, sure.

14 MR. SHIRAKH: That would be good. Thank
15 you.

16 MR. DEYOUNG: So, that's my four main
17 points. So, thanks for the time.

18 MR. SHIRAKH: Thank you, Brandon.

19 Any other comments in the room or online?

20 WEBEX COORDINATOR: Mazi, one comment
21 online. "Can you explain the proposed solar-
22 ready exemption for Climate Zone 15?"

23 MR. SHIRAKH: Again, Climate Zone 15 has
24 -- let me go to this. Climate Zone 15 is this
25 one down here. And where most climate zones are

1 in the mid threes and below, Climate Zone 13 is
2 at four, and Climate Zone 15 is at 5.7.

3 And Bruce?

4 MR. WILCOX: Yeah, Mazi, this is Bruce
5 Wilcox. Maybe you should explain that Climate
6 Zone 15 is Palm Springs in the Southern
7 California Desert.

8 MR. SHIRAKH: Exactly.

9 MR. WILCOX: And the reason that it's so
10 big is because of the cooling loads there are
11 enormous.

12 MR. SHIRAKH: Yes. So, you know, that is
13 Palm Springs. It's more like Arizona than the
14 rest of California.

15 And there's almost no cooling load in
16 there and it's entirely electric load. So, our
17 concern is that, you know, there may not be, and
18 especially when you go to the two-story
19 prototype, there may not be enough space,
20 available solar access on that roof to
21 accommodate an almost 6-kilowatt system.

22 So, you know, this is basically just to
23 be a little bit cautious and provide a variance
24 so, you know, we can have a PV system that can be
25 accommodated by the solar-ready zone that's

1 available on that house. So, that's the
2 rationale behind this.

3 MR. MEYER: Yeah, this is Christopher
4 Meyer, just to clarify when we talk about
5 exceptions that these aren't exemptions from the
6 requirement. They're just exceptions that allow
7 for an alternate way of remaining in compliance.

8 So, we're talking about a smaller system.

9 MR. SHIRAKH: Right.

10 MR. MEYER: Not that they don't have to
11 have a system. We're just making sure that we're
12 going to require a system in that climate zone
13 that can reasonably fit on the roof.

14 MR. SHIRAKH: Good point, Christopher.
15 So, this is not an exception that you can just
16 entirely get out of this requirement. You know,
17 basically you can accommodate the smaller PV
18 system.

19 But still, it's kind of basically the
20 exception kind of brings the PV size in line with
21 Climate Zone 13, which we think a 4-kilowatt
22 system, roughly around 230 square foot, should be
23 accommodated rather easily.

24 WEBEX COORDINATOR: Jeff, I'm going to go
25 to you next. Go ahead and state your name and

1 affiliation.

2 MR. SPIES: Yes, fine. My name's Jeff
3 Spies. I am the Senior Director of Policy for
4 Quick Mount PV. We're a Northern California
5 manufacturer for PV roof attachments. We employ
6 about 85 people at our manufacturing facility in
7 Walnut Creek, California. And we, as a company,
8 are working hard every day to reduce the cost of
9 rooftop PV for homeowners.

10 I just want to say that I support full
11 zero net energy in this code cycle per the
12 California Energy Commission's goals for the past
13 ten years.

14 Efficiency measures are important, but
15 generating your own electricity is equally
16 important, particularly since plug loads now have
17 become the dominant load with the growth of
18 electric vehicles.

19 So, I would say that builders should be
20 allowed flexibility in the compliance option. At
21 a minimum the compliance credit for PV should
22 remain in place, as in the 2016 Standards. And
23 PV and storage could be combined to maintain this
24 compliance credit.

25 So, thank you for your time.

1 MR. SHIRAKH: Thank you. And again, if I
2 had a note that -- we recognize that ZNE has been
3 a goal. But again, as I showed in our earlier
4 slides, what's driving us are net energy metering
5 compensation rules, both how they appear today
6 and how they may change in the future. So,
7 that's actually the overriding concern. And
8 that's part of the reason why we landed where
9 we've landed.

10 Any other questions online?

11 WEBEX COORDINATOR: Yeah, we're going to
12 go to Brandon next. Go ahead and state your name
13 and affiliation.

14 MR. CARLSON: Yeah, my name's Brandon
15 Carlson. I'm in Southern California. I've a
16 Vice President of New Day Solar. I'm a solar
17 contractor.

18 I wanted to echo the support that Jeff
19 Spies just mentioned there. I want to thank --
20 the presentation you guys have put together, I
21 know how time consuming it is to put together
22 something like this.

23 I also support the full net zero. I hear
24 a lot when we talk about this stuff, especially
25 when you get into I-code and making panels, like

1 with the CEC and the NEC, we basically hear all
2 the time is, well, we can do it in the cycles
3 down the road.

4 Well, it's important and I'm sure
5 everyone's aware that cycles down the road that
6 can add quite a bit of time. So, it's important
7 to keep our mind on the fact that whatever we
8 decide now, you know, we're kind of stuck with
9 for a little while. So, it's just something to
10 keep in mind for all of us.

11 Thank you for your time, I appreciate it.

12 MR. SHIRAKH: Thank you. Any other
13 comments online?

14 WEBEX COORDINATOR: So, we have a comment
15 from Jean Woo that I'm going to go ahead and
16 read.

17 "I would ask that the standards allow for
18 increased load for adding EV charging and
19 utilizing onsite solar and storage, as this is a
20 relief for the grid. Also EV charging when solar
21 installation is greatest is a net benefit re:
22 duck curve, and reduces GHCs, too.

23 In addition to this, I believe that the
24 standards should look to incentivize EVs and EV
25 charging. Also, the appraisers in the CEV should

1 be educated on the true overall value of the
2 solar plus battery system, which is significant
3 with the new TOU rates."

4 MR. SHIRAKH: So, the question of
5 requiring EV chargers in residential, well, you
6 know, I showed you the screen shot from CBECC
7 and, you know, you have plug loads and EV is not
8 a part of that. It's not part of the building
9 load, yet.

10 But, you know, some of us own EVs. Most
11 of us don't, you know. We cannot really predict
12 which home is going to be occupied by someone who
13 has an EV or not.

14 So, you know, requiring it would be a
15 stretch especially, you know, when you don't know
16 who's going to occupy that. And, basically, that
17 doubles the amount of kilowatt hours that a home
18 uses.

19 So, we need to be more deliberative about
20 this before, you know, we talk about requiring it
21 as part of Part 6.

22 But what we're doing is we're working
23 with the Air Resources Board. And as part of the
24 Reach Code, you know, there are two tiers in the
25 Reach Code, the Tier 1 and Tier 2.

1 What we're proposing is that the EVs will
2 become an elective that builders can choose.
3 There are several electives and EV will be an
4 additional elective on that list that they can
5 choose to.

6 And perhaps for the second tier, then EV
7 charger, a level 2 EV charger, a 40 amp will be
8 required to meet the Tier 2 requirements.

9 So, that's something we can do, but at
10 this point to actually have it as a performance
11 measure in the standards, you know, we think it's
12 a bit premature.

13 Any other? So, Christopher?

14 MR. MEYER: Yeah, I just wanted to sort
15 of echo some of the really good comments on EVs
16 in the crowd, and that emphasize the value of
17 aligning EV charging with solar -- with renewable
18 energy generation. I think that was sort of a
19 very good way of thinking about it.

20 And what we don't want to inadvertently
21 do is incentive EV charging that is non-
22 coincident with renewable energy generation. So
23 that instead of it becoming a benefit to help
24 with the duck curve or help with over-generation
25 of renewables, it actually becomes a load that is

1 likely, at least in the short term, to be met
2 with peaking power or, you know, sort of higher
3 GHG sources.

4 Also, you know, we try to be cognizant of
5 other things when we talk about grid
6 harmonization. If we incentivize EV charging at
7 home at night, we need to understand, you know,
8 when you take that in combination with houses
9 using net energy metering that are having a lot
10 of interactions with the grid, you know, in the
11 mornings and sort of that solar peak, then you
12 have the utility peak in the afternoons and
13 evenings.

14 And then if we add another load at night,
15 that would be a big question for the PUC and the
16 ISO, for utilities to figure out how their
17 distribution system, how the transformers would
18 handle that. When would they ever cool off? You
19 know, are they designed, are the circuits
20 designed to handle that continual delivery of
21 energy without the system cooling down?

22 And that's the kind of things that we
23 need to be cognizant of before we advance
24 anything.

25 So, it does sort of sound like we're

1 kicking the can when we say we need to look at
2 this in future code cycles, but that's the kind
3 of items that we want to make sure that we fully
4 understand. That we've coordinated with not just
5 utilities, but also our sister agencies so that
6 we understand -- we can take advantage of their
7 expertise to make sure that we're in step with
8 them on codes that we're introducing.

9 So, you know, that's all. Thank you.

10 MR. SHIRAKH: Thank you, Christopher.

11 And again, we fully recognize the benefit
12 of EVs. If they're done correctly, they can help
13 with grid harmonization and especially in
14 nonresidential buildings, you know, there's a
15 huge potential for that.

16 But, you know, we need to kind of -- we
17 know that EVs are going to be here, too. So that
18 this interaction between EVs, PVs and battery
19 storage is very important and we need to get it
20 right.

21 But for the current cycle, you know,
22 having it as a performance tradeoff of any kind,
23 I don't think we're ready to do that.

24 Any other comments?

25 So, this concludes, you know, this

1 segment. Again, we're at the noontime. I don't
2 know, Simon and Roy, you know, we can plow
3 through this if you guys want to continue, or we
4 can break for an hour. I think Simon's hungry,
5 too, and he's nodding.

6 So, if we come back at --

7 MR. BOZORGCHAMI: So, yeah, we will start
8 again at 1:00 sharp, and we'll continue with the
9 rest of our program. Thank you.

10 MR. SHIRAKH: Thank you.

11 (Off the record at 12:01 p.m.)

12 (On the record at 1:10 p.m.)

13 MR. BOZORGCHAMI: Good afternoon. So, if
14 everyone takes their seat we can get started.
15 We've got a full day, a full afternoon.

16 (Pause)

17 MR. BOZORGCHAMI: So due to this
18 morning's -- Mazi's presentation this morning,
19 we're a little bit behind. So, as I said
20 earlier, we're going to start with Mr. Baker's
21 presentation. And if everyone's ready, we're
22 going to do it now. So, Mr. Baker.

23 MR. BAKER: Thank you. Good afternoon,
24 everybody. It's a pleasure being here. Thank
25 you for the opportunity.

1 And I'm also joined here at the table by
2 Shannon O'Rourke, and she's an analyst that works
3 on cost effectiveness and, in particular, the net
4 energy metering proceeding. So, if there are
5 questions about that, we can certainly use her
6 expertise to answer some of those questions, as
7 well.

8 The next slide. So, what I want to talk
9 about today is a study that our Commission
10 commissioned, done by our consultant, DNV-GL.
11 And we also have DNV-GL on the line, I believe.
12 Is that right? Okay, so we have our technical
13 consultant online, as well, if there are
14 questions about the study.

15 And the purpose of the study was to
16 examine what the distribution grid integration
17 costs of zero net energy and of net energy
18 metering policy is, generally.

19 So, just to set a little bit of a policy
20 context, and we heard about this earlier in the
21 day, beginning in 2006 with California's adoption
22 of climate goals under AB 32, there was a real
23 push, a continuing push as there has been for
24 decades in California, but to find evermore
25 energy efficiency. Where could we get evermore

1 energy efficiency?

2 And that work began at the CPUC in 2007,
3 in an energy efficiency proceeding there with the
4 adoption of big, bold energy efficiency
5 strategies in a 2007 decision. And the work that
6 we did to adopt those goals was done in concert
7 with our colleagues at the Energy Commission, as
8 well.

9 And concurrently, in 2007, the IEPR also
10 adopted these residential ZNE goals, which are
11 that by 2020 residential new construction will
12 achieve zero net energy.

13 And by virtue of the fact that these
14 goals, for the PUC, came out of the energy
15 efficiency proceeding, I think it's important to
16 always remember that the PUC really does see
17 these zero net energy goals as an organizing
18 principle for getting more energy efficiency.
19 So, it really, first and foremost, is about
20 getting more energy efficiency.

21 So then, in 2008, the Public Utility
22 Commission adopted the Energy Efficiency
23 Strategic Plan. And that incorporated this same
24 zero net energy goal. And then it also laid out
25 a number of different strategies by which to

1 animate market transformation towards ever
2 greater energy efficiency involving non-utility
3 market actors, partnering up with the Energy
4 Commission through the Codes and Standards cycles
5 to get to higher levels of energy efficiency.

6 And then, from then on and up until
7 today, the PUC has authorized significant IOU
8 ratepayer expenditure towards a number of
9 different programs that have supported this push
10 towards more energy efficiency and evermore
11 stringent energy efficiency codes through new
12 construction programs, through advocacy support
13 for codes and standards, through emerging
14 technologies programs, and also through research.

15 And there was a study that was conducted
16 a couple, maybe three years ago as part of that
17 research effort, which really highlighted how
18 much new solar growth could potentially come from
19 a zero net energy goal. And that, I think,
20 really kind of brought into focus for some
21 people, in a new way, that the PV dimension of
22 the ZNE goal also needed to be examined very
23 closely.

24 And in 2012, the staffs of our two
25 Commissions worked together on a Codes and

1 Standards Action Plan, which was really sort of
2 taking the goals in the Energy Efficiency
3 Strategic Plan to another level of detail, and
4 laying out some more specific milestones.

5 And one of which was to, because we had
6 long acknowledged that the cost effectiveness
7 frameworks that the Energy Commission uses to
8 consider new standards does not -- had not
9 incorporated an assessment of what the potential
10 cost to the distribution grid might be of
11 interconnecting large amounts of behind-the-meter
12 PV.

13 And so there was an action in that Codes
14 and Standards Action Plan to develop that
15 methodology. And so, that's what this study does
16 that we want to share some of these results with
17 you today.

18 Also in 2015, we put forward the
19 Residential Zero Net Energy Action Plan which,
20 again, is kind of a deeper effort to mobilize the
21 marketplace and it was a partnership, as well,
22 between our two Commissions to get towards the
23 residential ZNE goals.

24 The next slide, please. So, I think
25 people are well aware of the net energy metering

1 policy. I'm not going to explain what it is.
2 But just to state that in 2016 the Commission,
3 pursuant to statute, AB 327, did adopt new rules
4 for net energy metering. And there are different
5 rules for systems over one megawatt. But for our
6 purposes here, the rules for under one megawatt I
7 think are most pertinent.

8 And among the key changes that were made
9 at that time is that the customer now pays a one-
10 time interconnection fee.

11 And then, also, grid interconnection
12 costs, to the extent that they are incurred,
13 they're socialized. Those costs are socialized
14 over all ratepayers.

15 But the Commission did require the
16 utilities to track those costs and they do so,
17 and it's in their filings.

18 And so far, I've got a data point just to
19 share that between June 2015 and June 2016, so
20 far \$25 million of costs had been tracked,
21 associated with distribution grid updates.

22 And also in that same decision, in 2016,
23 the Commission signaled that in 2019 it would
24 revisit its NEM policy. And later on I'll have
25 some slides to talk that through a little bit

1 more.

2 The next slide, please. Thank you. So,
3 as I said, we hired DNV-GL to do this study for
4 us. And it's a similar study in some ways to
5 studies that the utilities themselves did, as
6 part of the NEM successor tariff proceeding.

7 But what we wanted to do is have a
8 Commissioner overseen and sponsored study so that
9 we could really scrutinize those methodologies
10 and then kind of come to our own assessment.

11 The study objectives are twofold. First,
12 to inform the residential ZNE policy
13 determinations. And so, primarily to feed into
14 this process, provide information into this
15 process so that decision makers in this process
16 can have this dimension of the cost benefit
17 analysis considered in the policy determinations.

18 And secondly, as the Commission turns to
19 its review of NEP policy in 2019, we wanted to
20 have some analysis to inject into that process as
21 well.

22 So, overall the study evaluated two cases
23 looking over the 10-year period. This actually
24 goes out to 2026. And it looked at two different
25 cases. The base case, which is just the growth

1 trajectory for PV that's expected, using
2 assumptions out of the most recent IEPR demand
3 forecast mid case.

4 And then, the second case is looking at,
5 okay, what additional growth might occur as a
6 result of a decision to require residential ZNE
7 in code? And those assumptions came out of a
8 sensitivity case, also out of the IEPR analysis.
9 So, we used assumptions out of the IEPR process.

10 It's really important to point out,
11 however, that this is not a benefit cost
12 analysis. It's purely coming up with methodology
13 here to attempt to quantify what one cost
14 component is.

15 The next slide. So, just to provide an
16 overview here of the methodology that DNV-GL put
17 forward for us. The first step was to take the
18 projected annual PV growth from those assumptions
19 that I just showed you, and then map those onto
20 distribution circuits. And they can up with
21 geographic allocation method, using GIS layers.

22 And as part of that, they assumed that
23 the average system size per home would be about 2
24 Kw.

25 Then, they went about categorizing each

1 of those distribution circuits in the three IE
2 service territories into a subset of
3 representative circuits.

4 And then they performed power flow
5 studies on a sample of those circuits, and they
6 looked at what the cost would be to integrate PV
7 up to 160 percent penetration level.

8 And as part of that power flow study
9 analysis they evaluated various different
10 technical criteria that are used in distribution
11 planning, including voltage levels, thermal
12 capacity limits, reverse power flow, and so
13 forth.

14 And then, as increasing amounts of PV
15 were added to a circuit and as technical criteria
16 were violated, the researchers added in first the
17 least cost, traditional measures that could be
18 used to mitigate those particular violations.
19 Whether it's reconductoring, or capacitors, until
20 more expensive options were then layered in.

21 And as part of the kind of base case
22 analysis here, the measure that ended up kind of
23 being the determinant of cost here was energy
24 storage. Because that mitigation measure could
25 mitigate any number of different technical

1 criteria violations. And it was used as a last
2 resort after the least cost options were layered
3 in.

4 Now, as I'll show later, we did do a
5 smart inverter sensitivity case, which shows
6 potentially lower costs. And we also did a case
7 in which we optimized the locations or we looked
8 at a different perspective of where the PV
9 systems would be installed on a given circuit.

10 And those two perspectives that we looked
11 at, really, was there was a high cost case where
12 we assumed that all of the ZNE homes would be
13 lumped together in one place, on a circuit. And
14 if I'm not mistaken, I think it was towards the
15 end of that circuit.

16 And then, we looked at a low case, a low
17 cost case and said, well, okay, what if the new
18 PV was really just distributed throughout the
19 circuit, how would that change the cost results?

20 And so the two charts on the right there,
21 they show for the three utilities they -- it's an
22 illustrative example of what the cost results
23 showed, adding more and more PV onto the utility
24 systems, you know, going from zero to 160
25 percent.

1 And you can see that there are very
2 different slopes in terms of the high cost case
3 and the low cost case. And that's, again,
4 because of the attributes of where the PV is
5 being added on to a given circuit. It's more
6 costly to integrate PV when it's being brought on
7 at the end of a circuit, rather than nearer to
8 the substation.

9 And you also see that there are clear
10 differences between the utilities, in terms of
11 the architecture of their systems, and so there
12 are clear cost differences, and we'll get into
13 that a little bit more.

14 The next slide, please. Okay, so getting
15 into the results here. For the high cost
16 scenario and, again, this is kind of a
17 conservative bookend analysis here, for the three
18 utilities is shown here.

19 And you can see that, you know, without
20 ZNE, where most of the solar growth is happening
21 just because of NEM policy, alone, and no
22 additional growth due to ZNE, there already is
23 potentially significant costs here for
24 integration of these resources.

25 In PG&E's case we're talking about, you

1 know, over three-quarters of a billion dollars in
2 costs over this 10-year period.

3 And then the increment, in PG&E's case,
4 of going to ZNE is fairly significant. That's
5 about \$600 million in incremental costs.

6 But in Edison and San Diego's case the
7 costs are much lower, and I'll explain later why
8 there are significant differences in terms of the
9 estimated costs amongst the three utilities.

10 The next slide. So, as I said, we did a
11 sensitivity case looking at what would the impact
12 on the results be if we made assumptions about
13 the use of smart inverters to address some of the
14 violations that were found in the power flow
15 studies.

16 And what we found was that one of the
17 primary drivers for integration costs that the
18 researchers found in this analysis, was due to
19 voltage issues in a reverse power flow situation.

20 But a potentially cost effective
21 mitigation measure would be if smart inverters
22 were required and set to have reactive power as a
23 priority, which is not the current requirement
24 for smart inverters. The current requirement is
25 for real power priority.

1 But it seems like a reasonable
2 sensitivity case to look at because smart
3 inverters, with phase 1 capabilities, are going
4 to be required in California beginning in
5 September of this year. And with the exception
6 of this reactive power priority, which is not
7 currently required, but has been proposed by
8 staff to be required, many of these capabilities
9 will be available beginning in 2017 for new
10 installations.

11 There were some small amount of costs
12 required due to capacitor banks that were assumed
13 to be installed on feeders in these instances.
14 And this analysis also did not assume that there
15 were any real power losses, although those are
16 expected to be small.

17 Also, it's important to point out that
18 this smart inverter sensitivity case only really
19 affected the high cost case. And for the low
20 cost case the results basically remain the same
21 because the storage mitigation measures were
22 never really required in that instance, anyways.

23 The next slide, please.

24 MR. BOZORGCHAMI: Sorry, we're having a
25 little technical problem.

1 MR. BAKER: So, looking at the results
2 for the smart inverter sensitivity case here, we
3 can see that in PG&E's case, just sort of the
4 baseline without a ZNE requirement, it drops down
5 significantly from, in the high cost case, \$850
6 million down to \$262 million.

7 And so, overall, you see a third to a
8 two-thirds lower cost than the high cost
9 scenario.

10 The next slide. So, we also looked at
11 this low cost scenario, which is where the PV
12 development would be sprinkled evenly throughout
13 a distribution circuit, rather than lumped
14 together in one location. And this is where we
15 saw significantly lower costs, so 80 to 95
16 percent lower costs in this scenario.

17 Even in the instance of PG&E which had
18 much higher costs in the high cost scenario.

19 MR. BAKER: The next slide. So, the main
20 reason for these differences is that it depends
21 on three main factors. So, average PV
22 penetration at the starting point of this
23 analysis, kind of the baseline starting point is
24 a key factor. And PG&E has had a lot of PV
25 growth already in their service territory. So,

1 their starting point is much further along the
2 curve in terms of PV penetration.

3 A second factor is the number of homes
4 projected per feeder. And it so happens that
5 PG&E has the highest home per feeder ratio of
6 amongst the three utilities.

7 And the third factor is the distance from
8 the substation to the end of the circuit and that
9 longer circuits tend to be more sensitive to
10 voltage issues. And again, PG&E's circuits are
11 generally the longest.

12 So again, here, by virtue of the fact of
13 the way that the systems have been built out, and
14 the architecture of the systems, we see some of
15 these cost differences.

16 The next slide, please. So, staff's
17 assessment, you know, having reviewed these
18 results are that these integration costs of high
19 penetration PV, whether it's driven purely due
20 to NEM policy alone, or due to an increment that
21 would be driven by a ZNE policy, they can be high
22 if they're not mitigated.

23 But we clearly do have mitigation
24 measures that are available to reduce those costs
25 to more acceptable levels. Smart inverters being

1 first and foremost. And so, we do recommend that
2 the PUC update the smart inverter settings to
3 require a reactive power priority.

4 And then, also, optimal location matters
5 a lot. In the distribution resource planning
6 process that the utilities are before the
7 Commission now, responding to AB 327 requirements
8 to come up with methods and proposals for most
9 cost-effectively integrating distributed energy
10 resources into the distribution grid.

11 There are tools that are being developed
12 there, one of which is called the integration
13 capacity analysis. It's not cost analysis. And
14 that's basically what that is, is it's a hosting
15 capacity analysis which we expect the Commission
16 to review pilot results, which the utilities have
17 put before the Commission, and make a
18 determination about the expansion of the use of
19 that tool. Which will provide data that will be
20 available publicly and can be used by developers
21 and other interested parties to know exactly
22 where which circuits on the utility systems are
23 reaching capacity such that some of these reverse
24 power flow issues could begin to surface.

25 We think that the most likely case of the

1 ones that we've shared here, and that the study
2 looked at, is probably the smart inverter
3 sensitivity case. Again, because in September of
4 this year the smart inverter Phase 1 capabilities
5 will be required. Staff has put forward this
6 proposal to modify Rule 21 and require reactive
7 power priority.

8 And, you know, we think it's debatable,
9 this assumption about where PV development would
10 be expected to occur within a given circuit. We
11 know that when you're talking about new housing
12 development, you're often talking about
13 developments which are concentrated in a given
14 location. And so, that's going to tend to give
15 you attributes that look more like a high cost
16 case.

17 But we also know that, you know, there
18 can be an infill along a circuit, or there can be
19 multiple developments that might happen
20 throughout a circuit. So, that assumption I
21 think is definitely more debatable.

22 The next slide. So, we did put this
23 draft study out for comment and we received
24 comments from four different parties.

25 This went out to probably about a dozen

1 proceedings, related proceedings within the PUC.
2 We also put it out to the Residential ZNE
3 stakeholder group that's part of that Residential
4 ZNE Action Plan.

5 And we wanted to just share with you a
6 little bit of the sampling of some of the
7 comments that we received from stakeholders.

8 PG&E pointed out that this study does not
9 assess the system level grid integration costs of
10 the duck curve. And we're well aware of that it
11 was never really -- it was never the intent of
12 the study. Things like the IRP proceeding are
13 looking at those issues.

14 A big question, as well, whether the 2 Kw
15 system size per home might be too low. And they
16 pointed out that the start date for the 2019 code
17 update could be too early.

18 Edison, they contend that not all the
19 costs were included in the analysis and that the
20 multi-family housing starts should also be
21 included in the analysis, which the analysis did
22 not. That other variations of NEM should also be
23 looked at.

24 And San Diego believe that the more
25 likely case is probably the high cost case

1 because new housing starts are highly clustered.
2 And that smart inverter implementation costs
3 should also be included. So, they believe that
4 there are additional costs related to the smart
5 inverter option.

6 And then, SEIA pointed out that the study
7 did not consider benefits, and we're well aware
8 of it that, it's not a benefit cost study. And
9 that costs will be reduced when a ZNE mandate is
10 incorporated into distribution planning. And we
11 think there's some validity on that point. And
12 that storage costs are too high and that it
13 provides other benefits.

14 So, those are some of the points that
15 were made by stakeholders.

16 Then, finally, I just want to take the
17 opportunity to share, next slide please, what I
18 can about the future of NEM. Unfortunately, I
19 can't share very much. It's really a crystal
20 ball exercise at this point.

21 We understand and appreciate the approach
22 that CEC staff, in an attempt to quantify that
23 uncertainty in a cost effective analysis that E3
24 did for staff.

25 As I said, NEM's going to be revisited

1 again in 2019. We know, per the 2016 decision
2 that the Commission will consider an export
3 compensation rate that takes into account
4 locational and time differentiated values. So,
5 we know this issue of the location on the grid is
6 going to be taken into consideration.

7 And as part of that there is this ongoing
8 effort that I mentioned, in the Distribution
9 Resource Plans proceeding to develop specific
10 methodologies not only to identify the available
11 hosting capacity, but also to develop something
12 called a locational net benefit analysis. Where
13 the specific locational values of deferred
14 investment value to the distribution and
15 transmission grid will be quantified. And we
16 expect that to then be brought into the NEM "3.0"
17 review.

18 To try to kind of triangulate from
19 indicators we've gotten from lawmakers about what
20 certain dimensions of this revisit might entail,
21 we know that back in 2013 the Legislature
22 required the PUC to do a review of the cost
23 effectiveness of NEM from a ratepayer
24 perspective.

25 And so, in the cost effectiveness

1 parlance, that means looking at the cost
2 effectiveness from a ratepayer impact measure
3 perspective.

4 But then, in AB 32, when the NEM -- when
5 the framework for the NEM successor policy came
6 forward, the Legislature basically gave the PUC a
7 difficult balancing act, to strike a balance
8 between ensuring that behind-the-meter renewable
9 DG continues to grow sustainably, while at the
10 same time ensuring that total benefits to all
11 customers and the electrical system are
12 approximately equal to cost.

13 And so, what the PUC ended up doing in
14 the NEM successor decision was to look at various
15 different cost effectiveness metrics, one of
16 which was the ratepayer impact measure, but also
17 the total resource cost measure and others, and
18 then make its decision based on a broad review of
19 all of that information.

20 We know that the NEM 2.0 proceeding
21 examined a very broad range of different
22 compensation structures, from the very austere to
23 the very beneficial, from a PV owner perspective.
24 And we would expect the 2019 review to do the
25 same.

1 So, that's what I had for our
2 presentation here today. I've got a link there,
3 provided for people to be able to go and look at
4 the study, itself. And also, just to indicate
5 that Rory Cox, who's also here in the audience
6 with us, today, he's the lead analyst for this
7 study, so he can certainly take further follow-up
8 questions, as can I. And I'd be happy to take
9 questions at this time.

10 MR. MEYER: This is Christopher Meyer.
11 Before I go to questions, I just want to thank
12 you very much for you and your staff both putting
13 all this work in, and working with us. It really
14 helps us understand the possible pitfalls that we
15 may not have anticipated. And as I said earlier,
16 in some of these meetings, that we don't want to
17 run across the finish line with our arms up,
18 saying we met our ZNE goals, and then I have to
19 spend two years ducking your phone calls.

20 (Laughter)

21 MR. BAKER: Yeah, and I just want to also
22 thank the CEC staff because we've been working
23 really closely with you guys from the outset of
24 this, and it's been very helpful. You guys have
25 helped us to hone our assumptions. We wanted to

1 make sure that our assumptions were consistent
2 with the IEPR and a number of other dimensions.
3 So, we appreciate the collaboration.

4 I'm just going to make one other comment
5 because there may be some parties that come
6 forward and want to make comments, and I just
7 want you to know that we have two advisors for
8 Commissioner Peterman's Office here. So, to the
9 extent that there are any pending matters in
10 rate-setting proceedings at the CPUC, please hold
11 those comments so that our advisors here don't
12 need to get into ex parte issues. Thank you.

13 COMMISSIONER MCALLISTER: So, I just
14 wanted -- this is Andrew McAllister, Lead
15 Commissioner on everything we're talking about
16 today. Well, not all the issues that Simon just
17 mentioned, but at least the building standards
18 update.

19 But I want to just essentially echo the
20 message that Christopher just made, which is
21 thanks to the PUC and all the collaboration
22 across the agencies. I mean this is really the
23 way -- so, these are complicated issue, okay.
24 It's hard to imagine sort of making everybody
25 happy all the time as we work through these and

1 all the related issues that have already come up.
2 And what we're trying to do is make good policy
3 overall, and that has strong equity components,
4 and that also helps us meet our energy and
5 environment goals, energy and climate goals for
6 the State.

7 There are just so many interlocking gears
8 in all of this that, you know, you push over here
9 and something happens over here, and it does get
10 actually very complex. And we have a lot of --
11 fortunately, we have a lot of expertise in this
12 State that can help us pick over these issues and
13 understand the implications to a fairly great
14 extent. I mean, foresight is never perfect,
15 obviously.

16 And then there are lots of timing issues
17 involved. You know, so we, the two agencies have
18 been working for over a decade, now, of
19 conceiving of what zero net energy means, what
20 kind of a goal should be set, how we should or
21 shouldn't chart paths that eventually lead us to
22 that goal.

23 And so, we both, we share kind of
24 ownership of this ZNE discussion. And at the
25 same time, you know, we live in a different world

1 now than we did 10 or 12 years ago when the ZNE
2 goal was in initially conceived and sort of put
3 into place as a broad policy goal.

4 So, we are fortunate now that in the
5 State we have all sorts of technologies, The
6 costs have come down for solar. They're coming
7 down for batteries. The electronics are almost a
8 commodity now that -- they really are a commodity
9 now. The inverters have really come along. So,
10 we have a lot of technological options that we
11 didn't have a decade ago. So, many of you, all
12 of you probably know all of this.

13 But I guess my call here is that let's,
14 you know, keep our thinking caps on. Not just
15 now, but for the next few years. And, certainly
16 we, at the Energy Commission are going to do
17 that. And we really appreciate our colleagues at
18 the Public Utilities Commission, from the
19 Commissioner level on down for doing that. And
20 bringing all of these considerations to the table
21 so that we can, you know, make course corrections
22 and how we're going to reach that goal and what
23 it really looks like.

24 You know, we didn't have a strong RPS
25 back then, when we adopted this goal. So, now we

1 have clean energy and we're going to have even
2 more clean energy that we buy from the grid. So,
3 what role could that play in a world where
4 metrics are really all about carbon?

5 So, you know, what does that property
6 envelope look like? You know, how does the meter
7 really change as a point of analysis, right?

8 So, these are the kinds of issues that
9 are coming up and will continue to come up. And
10 certainly in the net metering process will
11 absolutely be front and center. And how do we do
12 all this in a way that is equitable and to make
13 sure that we're not leaving certain people
14 behind.

15 So, having said all that, I think where
16 the proposal that Energy Commission staff has
17 come down on is a pretty middle of the road
18 proposal in terms of it does, you know, propose
19 to require self-gen for the first time.

20 But also, I think it's a relatively
21 modest proposal and I guess pardon the literary
22 pun.

23 So, I'm actually optimistic for this
24 conversation going forward. I think, certainly,
25 in the same way that the PUC has really held

1 hands with us, and moved forward with us, and
2 provided a lot of good insight to Commission
3 staff on this round and developing the update
4 that we're talking about today, we are more than
5 willing to reciprocate that as these other issues
6 come up in the PUC in the various proceedings.
7 You know, net metering, different ratemaking
8 issues that will come up and distribution
9 proceedings, et cetera.

10 So, to the extent we can be helpful and
11 help create the narrative that provides clarity
12 and allows everyone to get their heads around
13 what the best solution should be, we absolutely
14 want to do that.

15 So, you know, this is a step forward in
16 this bigger conversation, but it's a really
17 important step forward. Buildings are our bread
18 and butter in this State for, you know, most -- a
19 lot of energy gets used in them, a lot of carbon
20 gets emitted from them and by them. And we
21 really need to -- we need to deal with them.

22 So, we end up talking largely about new
23 construction in the code update, you know,
24 conversation. And certainly zero net energy is a
25 new construction conversation for the most part.

1 But the code generally covers all building and
2 all projects that have to get a permit. And so,
3 I think we really need to focus on our building
4 stock, generally. And again, we have to
5 collaborate across the agencies, and with the ARB
6 as well in that, as we move forward.

7 So, I just wanted to really express
8 thanks to the PUC and to everybody that's here
9 today. Certainly, to the Commission staff and
10 the Building Standards Office for all the great
11 work that they've put into this. So, there's a
12 lot of blood and sweat in here already, and
13 there's going to be more. And we really look
14 forward to having everyone's participation in
15 building the docket and really forming a good
16 foundation for the formal rulemaking, when it
17 actually happens.

18 So, thanks again, everybody.

19 MR. SHIRAKH: Thank you, Commissioner
20 McAllister.

21 Again, this is Mazi Shirakh. I'm with
22 the CEC staff.

23 Simon, if that's okay, before we go to
24 Q&A, there's two slides I'd like to present and
25 then we can to Q&A.

1 Simon just presented the results for the
2 DNV-GL's study and impact on distribution system
3 as a result of the ZNE policy.

4 But how does the actual measures that
5 we're proposing in the 2019 Standards, how does
6 that measure up against what the study is
7 concluding? And is there anything in there that
8 can help us decide whether we should go towards
9 the high cost, or the low cost, or someplace in
10 between?

11 So, the 2019 Standards, again we talked
12 about many of these extensively this morning, so
13 just recapping. Will require or encourage the
14 smart grid-harmonized PV system that will greatly
15 reduce or eliminate the distribution system
16 impact of the proposed PV system for new
17 buildings, and may also serve as a model for PV
18 system install on existing buildings.

19 It limits the compliance credit to a PV
20 system that is just large enough to displace the
21 annual kilowatt hours of the building. And we
22 showed this building, what those sizes might look
23 like. It's very modest in most climate zones,
24 perhaps with the exception of Climate Zone 15,
25 maybe 13.

1 We actually will, as a part of
2 installation criteria, have specification for
3 smart inverters. And I think Simon's
4 presentation just showed the benefits of the
5 smart inverters and the services they provide,
6 and the voltage controls, and so forth, and how
7 they can actually mitigate some of these impacts
8 on the distribution system.

9 And we also have a strong compliance
10 credit encouragement for grid harmonization
11 strategies, such as battery storage. And I think
12 battery storage will also have a very positive
13 impact on mitigating some of these impacts on the
14 distribution system.

15 So, earlier, the study assumed 100
16 percent of the homes will have a 2 and a half
17 kilowatt PV system. This is going close to what
18 staff is proposing, except we're going to have a
19 number of exceptions that will basically bridge,
20 bring down the average DC kilowatt per dwelling
21 maybe a little bit lower.

22 The study was based on a Phase 1
23 inverter. Our proposal is to actually have the
24 Phase 3 inverters that Simon just talked about.

25 The study did not assume any onsite

1 storage. Again, the Part 6 of these standards do
2 not require storage, but it does allow a tradeoff
3 that would allow storage as a tradeoff against PV
4 system. And any strategy that goes beyond Part
5 6, whether it's a local ordinance, whether it's a
6 builder who wants to build ZNE communities, they
7 will have to -- if they want to use our software,
8 they have to put in at least some amount of
9 storage before they can oversize their PV system.

10 And the low PV self-utilization and high
11 grid exports, that is something also we're trying
12 to discourage. We're doing exactly the opposite
13 through the standards, having high self-
14 utilization of the PV generation and minimize the
15 amount of PV that gets exported to the grid.

16 So, considering all of that, you know, at
17 least our conclusion, staff is that if anything
18 we should be much closer to the low end cost of
19 the scale.

20 So, now, we can go to questions.

21 MR. MEYER: Yeah, and one thing just to
22 clarify here is that despite the title of that
23 slide, it's the PUC shared some of the draft
24 versions of this study and sort of their
25 thinking, very early on, that actually did help

1 and sort of move and, you know, influence our
2 direction that we were going in our standard.

3 So, when we say some of the things it's
4 like, well, you know, we went one direction and
5 your study went another. Just the stuff you guys
6 were doing here, studying the conversation we
7 had, we were sort of trying to skip ahead
8 thinking, okay, what could the conclusions of
9 this study come out with and how do we sort of
10 position ourselves to be ready for them.

11 So, just the study's been great, it's
12 been really useful. Just the fact that you did
13 this study was really helpful, as well, so thank
14 you.

15 MR. SHIRAKH: Thank you, Christopher.

16 And we can go to questions. Nehemiah?

17 MR. STONE: Nehemiah Stone, Stone Energy
18 Associates.

19 I want to thank you, Simon, and for this
20 report. This is actually very good. I read the
21 whole thing and I'm -- you know, it put me to
22 sleep a couple of times, but I got through it.

23 (Laughter)

24 MR. STONE: I have a concern about the
25 scope of what we're doing here. And I want to

1 draw an analogy, first, before I get into the
2 details of it.

3 I have a whole bunch of grandkids. When
4 the grandkids live with us, they make much more
5 mess than they clean up. And that's normal, the
6 adults clean up for the kids.

7 When you have a houseful that's all
8 adults, you expect that everybody cleans up to
9 the extent that they make a mess. We don't have
10 that situation here.

11 There's roughly 19,000 megawatts of solar
12 in California, two-thirds of which is utility-
13 scale solar, only one-quarter of which is
14 residential.

15 The PUC has required, recently, that 500
16 watts -- 500 megawatts, you know, as opposed to
17 the 19,000, of storage be installed by the
18 utilities. It seems to me that we are spending
19 an awful lot of time and being very conservative
20 with how much storage we are asking people to put
21 in, in the standards because of the duck curve.
22 And the duck curve is not caused by what's going
23 in buildings. It's being caused by the utility-
24 scale solar.

25 And I would encourage you to take back to

1 the Commission to solve that problem before
2 asking the Energy Commission to back off any
3 farther on installation of solar. It's not where
4 the problem is caused.

5 You know, living in a household of
6 adults, I'm not going to quick cleaning up my
7 mess because somebody else is not cleaning up
8 theirs. But by God, I expect them to clean up
9 their own mess. Thank you.

10 MR. SHIRAKH: Thank you, Nehemiah.

11 Any other comments in the room?

12 MR. BAKER: I'd just say that the PUC has
13 an open proceeding right now, the Integrated
14 Resource Plan proceeding, which is designed to do
15 exactly that. It's to find the most optimal
16 solution to the grid integration challenge. And
17 we're at a stage right now there, where some
18 preliminary results have been shared and there
19 are a number of different resource options that
20 are being evaluated as part of that process.

21 And in September, we're going to be
22 seeing, at some point, some proposals coming
23 forward as well for consideration. So, I would
24 encourage you to monitor that proceeding. But
25 the PUC is definitely on that path.

1 MR. SHIRAKH: Thank you, Simon.

2 Please introduce yourself.

3 MR. SMITHWOOD: Yeah, Brandon Smithwood.

4 I'm the California Director for the Solar Energy
5 Industries Association.

6 I want to build on the last comments,
7 which I disagree with the premise that the
8 utility-scale generators are causing a mess. But
9 I do think we do have to think about ZNE in the
10 context of getting the higher penetrations a
11 little more holistically, than just being solely
12 concerned about the duck curve.

13 So, I want to talk to some of these kind
14 of higher level grid integration, like generation
15 level integration issues, and then speak
16 specifically to the DNV-GL study.

17 So, at a high level, if you look at that
18 IRP study, staff is looking at a carbon price
19 that ranges up to several hundred dollars per
20 ton, would drive in an optimal portfolio up to 10
21 gigawatts in the next decade of PV, of utility-
22 scale PV alone, on top of an assumption of robust
23 distributed generation.

24 And this is really being driven by our
25 carbon goals. So, you know, the RPS is

1 potentially softer than our carbon goals. So,
2 we're going to have to go to 50 percent and we're
3 going to have to go well beyond. And not
4 pursuing or dialing back ZNE is not the way to
5 get there.

6 We've already seen the National Renewable
7 Energy Laboratory show that you can get to 50
8 percent of the State's electricity through both
9 generation, through both distributed and utility-
10 scale solar generation by making the fossil fleet
11 more flexible. I'd argue that's what's causing
12 the mess. We have a lot of thermal generators
13 that keep running as we're curtailing our
14 renewables.

15 Electrifying transportation and
16 buildings, and managing that electricity use,
17 enhancing demand response. We had a great
18 example of that yesterday, during the eclipse
19 over a gigawatt and a half dropped. And bravo to
20 the CPUC for leading that effort.

21 And then, we need to regionalize the
22 operation and planning of the generation and
23 transmission system. We act far too much like an
24 island, when we're part of the continental U.S.

25 So, anyhow, I just want to emphasize that

1 we have a number of strategies, all of which or
2 most of which we're pursuing to get to much
3 higher penetrations. And the several hundred
4 megawatts of incremental DG from the ZNE is
5 really just a component of getting to those
6 higher penetrations.

7 I also want to emphasize that distributed
8 generation has been important to meeting these
9 climate goals, but it's also helped us avoid a
10 lot of distribution and transmission spend.
11 There have been some high profile projects, in
12 the hundreds of millions of dollars, just in the
13 past couple of years that have been cancelled
14 because of distributed generation and efficiency.

15 There's been a study in the San Joaquin
16 Valley, alone, showing \$300 million in benefits,
17 mostly from avoiding transmission.

18 And particularly, as we electrify loads
19 to decarbonize other sectors, we really have to
20 be mindful that there's a lot of value of having
21 that generation out at the load.

22 So, anyway, again, some high level
23 points. The things I want to speak to
24 specifically on the DNV-GL study which, thank
25 you, Simon, for kind of giving the high level

1 outline.

2 The first is, as Simon mentioned, is
3 we -- while the study is very clear that it's
4 only about looking at a certain category of cost
5 distribution, grid upgrades that may be needed to
6 incorporate more DERs, or more rooftop solar, we
7 have to be careful that we then don't take those
8 costs and apply them to the Building Code, which
9 is only looking at the participant cost test,
10 without recognizing the other benefits.

11 The Public Utilities Commission is
12 looking at societal cost test. As Simon
13 mentioned, we're doing a whole redo of the cost
14 effectiveness framework.

15 So, again, we totally recognize that the
16 study is clear that it's only about a certain
17 category of costs. But once it's applied, it
18 needs to be balanced with a full portfolio of
19 benefits.

20 We also noted that the study uses 75
21 existing circuits throughout the utility service
22 territories, but presumably a lot of this new
23 construction is going to be on line extensions,
24 which could be designed differently. So, you're
25 not building kind of status quo lines and then

1 having to go and upgrade them.

2 And then, and finally, and I think this
3 is the biggest issue which, again, is recognize
4 in the study, but which we think makes its
5 assumptions, or its findings a bit questionable,
6 is how storage is assumed to be deployed.

7 Mazi, as you mentioned in your own
8 presentation, the Building Code could move
9 towards incentivizing a lot of storage.

10 We also think that we are a few years out
11 from storage being broadly deployed with solar,
12 behind the meter. A lot of that depends on rate
13 design. And I'm going to quickly make sure I
14 don't get myself into trouble here.

15 I guess I'll just basically say that a
16 lot of it depends on rate design. SEIA has rate
17 design ideas that are revenue neutral and cost-
18 based. And so, there's a way to actually get
19 there on rate design. And if you're putting it
20 into the building, you're going to make it far
21 more cost effective.

22 Once you do that and you have a lot of
23 that benefit going to the customer, the idea that
24 you're only going to deploy storage once you've
25 done all these distribution upgrades to manage

1 over-voltage conditions, just seems unrealistic
2 to us.

3 And then, finally, you know, SEIA
4 believes that smart inverters are going to
5 provide a lot of benefits to customers on the
6 grid. We have, as we've expressed to staff on
7 their proposal, we just have some concerns about
8 some of the differential impacts between
9 different customers that are not caught in the
10 average. The difference smart inverter studies
11 look at. And we really think that kind of how
12 inverters are moved needs to be part of -- how we
13 move into inverter functions beyond Phase 1 needs
14 to be part of a process that's more robust than
15 an advice letter process.

16 So, thank you for doing the study. Thank
17 you for taking the time to hear me out.

18 MR. SHIRAKH: Thank you, Brandon.

19 MR. NESBITT: George Nesbitt, HERS Rater.
20 On your first sort of cost impact slide, you sort
21 of talk about the total cost in the different
22 utilities. And well, yeah, \$800 million, \$400
23 million not as big a deal.

24 But the cost difference per customer was
25 more than a 10-to-1. I don't really care if it's

1 \$100 million or \$100 trillion, is it going to
2 cost me a dollar a month or \$100 a month? I
3 mean, ultimately, since the customers, the
4 ratepayers are all paying for it.

5 So, I think that's really important to
6 look at. It's not just total cost.

7 So, before net metering it was easy. The
8 utilities, if they needed resources, they'd
9 procure them. They'd decide what they want,
10 where they want to put it. In theory they had a
11 duty to do it probably least cost. They probably
12 also tried to maximize their profits, that's
13 fine.

14 So, then with net meter we sort of
15 democratized having a power plant. Anybody who
16 wanted to invest in a power plant could on their
17 property, regardless of the cost to the rest of
18 us.

19 So, what we're proposing under the
20 Building Code is now everyone has to do this
21 regardless of the cost to the rest of us and
22 where you're putting it. Because nobody is
23 planning where this is going. It is going to go
24 where it goes, regardless of the cost to the
25 grid.

1 Now, it's possible in places it has a
2 positive and it's possible in places it has a
3 negative. As opposed to planning where -- what
4 are we trying to get to? We're trying to get to
5 a high percentage of renewable energy. We want
6 to keep costs down, right?

7 So, I mean that requires planning. That
8 requires someone deciding what do we need, where
9 do we need, what are the cost implications,
10 what's the best for the whole system and trying
11 to balance everything. The problem is we have
12 the right to unbalance it, you know, cutting off
13 your nose to spite your face kind of thing. It's
14 not that renewable energy is not good.

15 The other thing I want to say is, well,
16 the duck curve. Yes, it's not all about the duck
17 curve, but it's an incredibly important thing.
18 And net metering, behind-the-meter PV systems are
19 part of the duck curve.

20 And I suggest you go to the June 28th
21 workshop, IEPR workshop on distributed energy
22 resources, and there's one Cal-ISO presentation
23 that shows slides. Net metering has already
24 taken the top of the load curve off of the
25 utilities. The duck curve is the net result of

1 their total load minus renewable.

2 So, every watt of renewable energy we add
3 from 7:00 a.m. to 5:00 p.m. adds to the duck
4 curve. It doesn't matter what side of the meter
5 it's on, the physics don't care.

6 So, I wonder, yeah, you know, zero net
7 energy buildings, great idea. But like I say,
8 the grid has renewable energy. Maybe all we
9 really care about is getting to a 100 percent
10 renewable electricity grid.

11 How does the building support that? How
12 do we implement it? How do we have rate
13 structures or ownership? You know, what's wrong
14 with putting the PV where it makes sense, but I
15 can have ownership in it? Because it doesn't
16 make sense to put it onto my house.

17 Because I think, ultimately, we are
18 hurting ourselves if we don't truly plan in a
19 better integrated -- I mean, yes, this is enough
20 years off we can say, well, hopefully, we'll have
21 it all figured out by 2020 when people start
22 pulling permits.

23 But this is what will happen,
24 potentially. What happened in Nevada, it's
25 happened in Hawaii. You're not going to be able

1 to interconnect or you're not going to be able to
2 export excess to the grid.

3 So, if we've oversized our systems, over-
4 invested, now you can't get money out of it
5 because you can't sell it. So, you're now losing
6 even more money or it's less cost effective, or
7 you're going to have to invest more money in
8 storage so that you can absorb the excess, use it
9 and/or send it back when it has more value.

10 Thank you.

11 MR. SHIRAKH: Please.

12 MR. KENNETH: Hello. It's good to see
13 everybody again. Okay, so I'm going to have sort
14 of a reoccurring theme from this morning?

15 MR. SHIRAKH: Can you reintroduce your
16 name and affiliation?

17 MR. KENNETH: I'm so sorry. Lather
18 Kenneth from Sonnen. So, we're a leader in
19 residential energy storage behind the meter.

20 And again, one of the lessons that we
21 learned over the years, when we were deploying
22 just under 20,000 energy storage systems that are
23 actually working and installed, and 17,000 of
24 them under a virtual power plant that's the
25 largest distributed network of energy storage

1 systems in the world, is that we needed to work
2 with the grid operators in Germany to understand
3 a lot.

4 What is the locational value of
5 distributed clean energy storage resources?

6 Within each part of Germany, literally?
7 Like where -- what's important to the grid, what
8 could be useful?

9 As a for instance, we found that with
10 three out of the four grid operations that
11 frequency regulation was a very important topic.
12 So, we decided to make sure that our energy
13 storage systems could really do some frequency
14 regulations. Right, that was a high priority.

15 And again, other things are very
16 important as well, but frequency regulation in
17 one area of Germany was more important than the
18 other.

19 So, my point is that understand the
20 locational value of distributed clean energy
21 storage resources, stored sunlight energy. Where
22 could we help mitigate the challenges of greater
23 renewable penetration onto the grid, which is
24 what you described? By way of a virtual power
25 plant. By way of an aggregated network of energy

1 storage systems. And from a homebuilder's
2 development, as well. Why not?

3 Why can't we go to KB Homes, our friends
4 at KB Homes, or Lennar, and say, okay, it would
5 be really nice, it looks like you have a
6 development going here. This is an area where
7 there's an argument, an actual argument. This
8 particular feeder is stressed and needs support.

9 Okay, maybe that's demand response,
10 regulation of voltage support, reactive power,
11 whatever you want it to be. But where can we
12 help defer TND investments and peak demand
13 investments? Where is there a stressed feeder?

14 So, I guess my point is that as we
15 develop this it would be really nice to have
16 continued studies around, well, where could a
17 distributed network of energy storage systems
18 help mitigate problems and actually add value to
19 the grid?

20 And then in coupling that nicely with
21 ZNE, we would be able to talk to homebuilders.
22 Well, we already are talking to homebuilders, so
23 that's already happening and, hopefully, we'll do
24 more of that. And homebuilders can say, okay,
25 well, we have projects here, we have projects

1 here, where can we help?

2 As an example, we're doing this in
3 Arizona right now. We're doing this in Western
4 North Carolina, where the utility has a specific
5 need, a very specific need because a peaker plant
6 is going offline. Hey, can KB Homes help?

7 So, I think that would be cool and it
8 would be a nice way to give ZNE a nice -- like
9 you said, energy storage is not mandated by ZNE
10 in this current rendition, but at least we would
11 be able to do some cool projects and create some
12 really nice proofs of concepts on grid
13 stabilization.

14 MR. SHIRAKH: Thank you.

15 MR. KENNETH: Thank you.

16 MR. SHIRAKH: He's asking me to bring up
17 the slide that I showed earlier that shows the --
18 yeah, this one.

19 MR. CAIN: Joe Cain with SEIA. So, in
20 the report we saw from DNV-GL there was a case
21 where the grid modernization might cost \$800
22 million, and then if you add PV without smart
23 inverters it might cost an additional \$600
24 million. And then, there was a smart inverter
25 case which made that scenario much better.

1 And I did not see a case that included
2 storage. But I'm trying to imagine how that
3 lowest curve in the first case could almost
4 double the grid integration. I mean, when that's
5 such a tiny percentage of the overall
6 contribution to the grid.

7 So, and then I have additional trouble
8 trying to imagine if we are successful, and it
9 seems like everybody is supportive of adding
10 energy storage into the mix and what may happen
11 with that tiniest curve.

12 So, if that tiny curve gets tinier, it's
13 hard for me to imagine that being such a large
14 contributor to grid modernization.

15 And then, of course, you know, this is
16 the curve of what's going on now. It doesn't
17 even begin until 2020. So, we have another two
18 and a half years before we start to see the
19 effective date of this standard.

20 So, I'm just interested to know what does
21 that curve like if you do have the smart
22 inverters and what does that look like if you do
23 have energy storage, and how could these impacts
24 be so significant.

25 And I think that, you know, as I listen

1 to various testimony, you know, I'm trying to
2 bring everything -- imagine bringing everything
3 all together, you know, so that instead of being
4 I'm an efficiency guy, and I'm in this silo, or
5 I'm a renewable person so I'm in the silo
6 bringing this all together.

7 And what I actually see, still, is
8 systematic bias. What I see is you can use
9 envelope measures to make your PV system smaller.
10 You can use storage to make your PV system
11 smaller. You can use the climate zone exception
12 to make your PV system smaller. You know, so
13 everything is driving -- you know, the systematic
14 bias of everything trying to drive the PV system
15 down.

16 Now, granted, I understand that the
17 fundamental of the contribution of, you know, you
18 do so great efficiency measures and you don't
19 need a huge PV system. But it's really more
20 about getting to zero. And so, I still don't see
21 a reason why we couldn't get to zero.

22 And it's just frustrating to me when I
23 hear some people that wish to not only put
24 renewable energy in last position, but wish to
25 put renewable energy in a position where we just

1 either make it go away, or we make it deferred,
2 or maybe it will happen, maybe it doesn't happen,
3 we don't care. So, again, I'd just like to see
4 everything come all together.

5 But I would be interested in the answer
6 to, you know, per the studies what those grid
7 optimization costs, if we brought it all together
8 and we did have the smart inverters and we did
9 have the storage?

10 MR. SHIRAKH: Just one point on this
11 graph. This is graph is mostly a comparison
12 between the capacity, the installed capacity of
13 various PV scenarios. It's not a direct measure
14 of distribution system impact. That has other
15 parameters you have to consider. This is
16 strictly, this size here is megawatt hours. This
17 basically tells you how much capacities are
18 really there, how much it's going to grow in the
19 future, and how much ZNE standards might impact
20 this.

21 So, for the true impact on distribution
22 system, that's where you have to consider the
23 inverters, the storage, and all the ancillary
24 services, and everything else that the DNV-GL
25 study is trying to capture.

1 Any other questions in the room?

2 Anything online?

3 So, with that, we're going to close this
4 section and move to community solar.

5 MR. MEYER: Okay, thank you everyone and
6 thank you, Simon.

7 Okay, so this is -- initially, we thought
8 we'd sort of have a lunch break between this and
9 the rest to sort of really just sort of say, you
10 know, we have our Part 6 we're talking about and
11 the alternatives -- or sorry, the exceptions to
12 PV requirements in Part 6. And we want to make
13 sure that this is -- when we talk about
14 alternative compliance options, this is a
15 completely different topic.

16 This is looking at things that would be
17 in sort of Part 11 as an alternative to behind-
18 the-meter storage, you know, period.

19 There's been a lot of interest for quite
20 some time, from a lot of different quarters, on
21 looking at the advantages of having your
22 renewable energy resource, you know, still
23 distributed but in sort of a scale of mode that's
24 in these community solar options.

25 What we did notice is there weren't a lot

1 of -- there wasn't the penetration of community
2 solar that we thought there would be by this
3 time. So, questions from Commissioner
4 McAllister, discussions we've had with the
5 utilities, with CBIA, with the PUC and others
6 just on, you know, what is the status of this.
7 You know, what are the barriers? You know, what
8 are the advantages?

9 So, we were asked by our Lead
10 Commissioner to look into this. And Bill
11 Pennington took this on with, you know, the
12 enthusiasm he takes on everything, with
13 efficiency, and really jumped into this and did a
14 great job. So, wanted to share that with you.

15 But just the oversized, this is something
16 we're just bringing out there as, you know, here
17 is how we're looking at community solar from a
18 Building Standards perspective, which is going to
19 be a little bit different than if we were looking
20 at it from like a CEQA planning. You know, we're
21 not looking at a green field, brown field, you
22 know, on site, off site, all of those things.
23 Those are different metrics.

24 We're looking at it, you know, how
25 community solar, community-shared solar projects

1 compare to behind-the-meter PV in a Building
2 Standards component.

3 So, with that, I'm going to hand it over
4 to Bill and let him run through this for you.

5 MR. PENNINGTON: Thank you. The next
6 slide, please.

7 So, before we get into, you know, our
8 thought process related to how community solar
9 might be an alternative compliance option in the
10 building standards, I just wanted to start with
11 kind of what's the background here? What are the
12 things that exist now and how do they work?

13 And so, first, with the IOU programs,
14 with the net energy metering options. In
15 general, net energy metering requires that the
16 generation resource be on the property of the
17 customer and that its purpose is to reduce the
18 energy bill of that single customer.

19 There are some options that maybe look at
20 more than one customer in some respects. And so,
21 one example is virtual net metering, where multi-
22 family property owners can allocate the PV
23 production that they're responsible for, that can
24 be allocated to all the tenants in that property.
25 So, there's a way of sharing that happens in that

1 narrow case for virtual net metering for multi-
2 family.

3 And then there's another possibility of
4 sharing in the net energy metering aggregation
5 option that allows multiple meters, on properties
6 that all belong to the same customer, and are
7 contiguous to the property where the PVs are
8 located.

9 So, there's an example of how you can
10 think about perhaps more than one meter, the
11 concurrence of one meter and one generator.

12 These are really the only options that
13 relate to residential. There's, I guess, some
14 options for local governments, but in a different
15 space. But this is what's available right now in
16 terms of net energy metering for residential.

17 Okay, the next slide, please. So, the
18 other program that's out there, that is
19 community-shared solar, in terms of IOU programs
20 that's authorized by statute is the Green Tariff
21 Shared Renewables Program. And this is just a --
22 there's a bunch of details about this program and
23 there's variance, and different options within
24 it, and so forth, and it's quite complicated in
25 total.

1 But just a real, 30,000-foot look at it,
2 the GTSR allows customers to subscribe to receive
3 energy bill credits for generation from a shared
4 renewable resource. And so, that renewable
5 resource is some central resource that is not on
6 the customer's property, but that customer can
7 subscribe to get credits back to their bill.

8 The customer, and this is an important
9 point, the customer can cancel that subscription
10 at any time. It might be a little bit of a
11 startup thing where in the first few months this
12 is not true, but after a certain period it is
13 true that they can cancel the next day, or the
14 next month, and they'd never have to participate
15 again after that.

16 If the customer moves, the subscription
17 moves along with the customer to their new
18 address. And this is all about the customer.

19 These resources that are used in the GTSR
20 program are big resources, 500 Kw or bigger.
21 It's secured through a power purchase agreement
22 with the IOU. It's all conducted through PUC
23 oversight and rules.

24 And, in general, it's located somewhere
25 in the IOU service territory. So, those are some

1 key points.

2 The next slide, please. So, the 2015
3 IEPR provided some guidance on thinking about how
4 community solar might be a possibility within a
5 Building Code environment. And so, these are the
6 key points.

7 To identify pathways of compliance for
8 buildings where offsite renewables aren't
9 feasible.

10 To anticipate that there could be
11 development entitlements to the building for
12 offsite renewables as a builder option, allowing
13 community solar as a possibility.

14 But also making sure that this is
15 administratively workable and cost effective.
16 And that you think carefully about making this
17 fit within the building department's enforcement
18 responsibility and, you know, make it convenient
19 for the building department.

20 So, the building department is making a
21 decision on permitting particular buildings and
22 enforcing code for those buildings as a point in
23 time. And so, one of the things that would be
24 important for allowing an alternative like this
25 would be that the resource would exist at that

1 point in time. That, you know, it's not
2 anticipating some future existence that might
3 happen, that may be on paper, but trying to fit
4 into the building department's job to physically
5 look at projects.

6 The next point would be that it would
7 offset energy use of the building that it's
8 assigned to. So, basically, that the building
9 that's under consideration for a permit is
10 receiving the benefit of this option.

11 And also, that the output is not already
12 spoken for, for some other reason.

13 The next slide. So, in thinking about
14 this, we've kind of come up with how would we
15 think about what should be the expectations for a
16 community-shared solar alternative if it was a
17 compliance option?

18 And the first thing you'd kind of think
19 about is this is akin to an offset and people
20 that conduct offset programs, administer offset
21 programs are very concerned about the
22 characteristics of those offsets. That they must
23 be additional. That they must be dedicated.
24 That they must be quantifiable. That they must
25 be verifiable. And that they be -- sometimes the

1 word "permitted" is used, you know, at least
2 durable.

3 So, those are the kind of things that in
4 establishing this kind of a program that is akin
5 to an offset, we think we should think about what
6 do offsets normally have to ensure.

7 But it's also a compliance option. So,
8 we want to think about what do we want this
9 alternative to deliver in order to establish a
10 compliance option.

11 And so, basically, we want to provide
12 equivalent energy performance to what the
13 standards would otherwise require. So, if this
14 is going to be a one-for-one exchange with onsite
15 PVs, then it should have energy performance
16 that's comparable to those PVs that would have
17 been there instead, for example.

18 Also that it provide energy benefits to
19 the home that last as long as the standards
20 requirement that would have been installed.

21 So, this is kind of a tougher situation
22 than maybe you might think about in terms of
23 establishing a community solar option for some
24 social reason, or environmental reason.

25 The Warren-Alquist Act requires the

1 Commission to deliver energy bill savings to the
2 home that is being permitted, and that those
3 savings be real, and achieved, and so forth.

4 So, we think that if we create an option
5 here we should be ensuring that there are energy
6 benefits going to that home that is participating
7 in the community solar program. And that home,
8 those benefits in terms of the people that
9 receive those benefits, they're all the occupants
10 of the home over the useful life of the home.
11 And so, they're basically the original occupant
12 or original home served, and they are also the
13 subsequent people that live in that home.

14 And so, it's a long-term delivery. It's
15 not necessarily to that first customer that lives
16 in that home, it's to the home that you're trying
17 to deliver the benefits.

18 And then, also, coming back to the point
19 of being easily verified and enforced by building
20 departments, the resource needs to exist when the
21 building department is considering whether to
22 accept it as an alternative or not, and it needs
23 to be dedicated to the home at that time.

24 A consideration that maybe could be
25 worked through, but it's pretty important, is

1 that the resources that the building department
2 is looking at for a normal permit is within their
3 jurisdiction and is pretty easily accessible to
4 them. And they're able to go out and visit, and
5 physically verify compliance, and so forth.

6 And so, you know, maybe this is not an
7 absolute requirement, but shouldn't an
8 alternative community resource be also
9 conveniently located perhaps in the jurisdiction
10 of the building department and be available for
11 some physical verification by the building
12 department. So they can be satisfied that what
13 they've allowed as an alternative to the code
14 that they're responsible for is legitimate,
15 valid, fully accurate information, that sort of
16 thing.

17 The next slide, please. So, what we did
18 is we came up with a series of criteria that are
19 based on what I was just describing as
20 expectations that you may want. And thought
21 about, well, what are some alternatives, some
22 community solar-like alternatives that perhaps
23 exist or perhaps we could imagine existing. And
24 then, try to match those up against the
25 attributes and how a PV system, an onsite PV

1 system would accomplish those attributes. And
2 trying to see to what extent these options would
3 match up.

4 And, you know, we used these silly, these
5 funny faces as a way of thinking about the
6 matchup as dead on. Maybe the matchup is
7 acceptable, maybe it's close enough to be
8 acceptable and in a situation where maybe the
9 matchup just fails to match the attribute of the
10 onsite PVs.

11 The next slide. So, these are the
12 criteria that we looked at. First off, we kind
13 of thought about how do onsite PVs fit against
14 these criteria for each one of them.

15 In terms of the additionality criteria,
16 the onsite PV is a new resource and it's not
17 meeting other obligations. You know, that's what
18 you would normally expect.

19 The onsite PV is dedicated to the home.
20 It does provide benefits specifically to the home
21 that's being permitted.

22 Durability or permanent to the -- the
23 onsite PV system, in general, will generate for a
24 long life, maybe a 20-plus year with inverter
25 changes that we've assumed in our cost

1 effectiveness analysis.

2 The onsite PV system, it takes into
3 account the temporal expectation for the Building
4 Code requirement. And so, it can be assessed in
5 the same metric that's used for the Building
6 Standards, the TDV energy. And the PV generates
7 in a pattern that is easily determinable through
8 our modeling and can be assigned a TDV value.
9 And it is, you know, as Mazi was explaining
10 earlier.

11 It's quantifiable. The energy
12 performance is able to be modeled through CalRES,
13 and we can come up with, you know, a reliable way
14 of quantifying that energy performance.

15 MR. BOZORGCHAMI: Excuse me, Bill, you
16 meant CBECC.

17 MR. PENNINGTON: What did I say?

18 MR. BOZORGCHAMI: CalRES.

19 MR. PENNINGTON: CalRES. My gosh, I
20 remember that.

21 MR. SHIRAKH: He's showing his age.
22 CalRES was from 20 years ago.

23 (Laughter)

24 MR. PENNINGTON: There's no come back for
25 that, so I'll keep going.

1 So, verifiability, the onsite PV is there
2 at the site that the building department will go
3 to, to demonstrate that the quantification of
4 this performance exists and is accurate, it can
5 be subject to HERS field verification to verify
6 installation quality, and that it's
7 characteristics that impact performance can be
8 field verified.

9 The onsite system will definitely provide
10 benefits in terms of reducing the energy bill of
11 the home and it's there for the life of the home.
12 And so, those benefits accrue to whoever are the
13 occupants over the useful life of the home.

14 It's enforceable. The building
15 department goes there and can demonstrate
16 compliance, and so forth.

17 It's administratively feasible. It's
18 kind of, clearly, legally allowable once we get
19 this in place, and the processes needed to
20 administer are reasonable to all parties.

21 So, this is kind of, you know, how we see
22 onsite PVs. These are kind of the things that
23 you'll be trying to match or come close to
24 matching.

25 The next slide. So, we looked at some

1 alternatives. These were the sort of ones that
2 jumped out as being quite interesting. I must
3 say that our initial review of these, you have to
4 say is just that, it's just an initial pass at
5 it, and in some respects is preliminary. And
6 perhaps you might imagine the option being
7 improved in some way against the criteria, and
8 maybe that's possible in some cases.

9 So, I could see this review and our
10 conclusions being adjusted in the future, perhaps
11 as things change. So, view them as preliminary.

12 But we did look at a few interesting
13 alternatives. The first one is the notion that
14 the PVs would be directly connected to the home,
15 but would be at another location in the
16 subdivision. Perhaps there's a shading problem
17 on the lots where the homes are. Or, perhaps
18 there's some desire not to have PVs from an
19 aesthetic vantage point on the homes, or
20 something.

21 But there could be another location in
22 the subdivision where it would be possible to
23 direct connect. And so, this idea would have the
24 panels being dedicated to the home. So, you
25 would imagine a one-for-one dedication of the

1 panels without a sharing of the same panel with
2 other homes. And you would have a DC connection
3 to an inverter that was installed at the home.
4 And so, that's what this idea is.

5 The second thing we looked at is looking
6 at the Green Tariff Shared Renewables Program,
7 which is the only community-shared solar program
8 that's currently authorized by the Legislature
9 for IOUs to conduct.

10 The third thing we looked at was having
11 the builder get PVs installed at another
12 location, where they would be getting energy bill
13 savings at that other location, and that the
14 builder administers a process to allocate those
15 savings back to the homes. So that the homes
16 would actually get the benefit that's coming from
17 the system.

18 And so, this would be setting up a
19 situation where this would be an ongoing
20 administrative responsibility of the builder
21 throughout the life of the property, so that
22 those savings could be allocated back to those
23 homes and benefit the original homeowner and
24 subsequent occupants of the home.

25 And the last option is a local government

1 community facilities district idea, which is a
2 Mello-Roos kind of situation where a local
3 government sets up a bond that pays for the
4 community resource. And the homeowners are
5 responsible for paying back that bond through
6 property tax assessments.

7 And that would be sort of how the
8 structure would be, for how the sharing would be
9 established.

10 You would need to also allocate the
11 savings back to the home and that would be very
12 tricky under the GTSR program for an IOU to do.
13 But, potentially, it could be done by a POU, or
14 by a CCA, who decides to support this and perhaps
15 works in conjunction with the local government
16 that establishes the bonding authority. So that
17 you have both the shared payment and the
18 mechanism for sharing the energy bills back to
19 the property.

20 So, the next slide. So, this is our --
21 it's kind of hard to see, sorry. So, this is the
22 table of attributes in the columns and the four
23 programs that we just described -- thank you for
24 that -- in the rows.

25 And you'll see, first off, starting out

1 with online -- the onsite PV, kind of showing the
2 green happy faces that we associated with that on
3 the previous slide.

4 Looking at the first option, the PV
5 that's DC connected to the home from another
6 subdivision location, you really should be able
7 to match the attributes of the onsite PV one for
8 one, but there's a catch.

9 It's quite possible that this kind of
10 direct connection is not allowable under NEM
11 rules that the resource must be on the same side
12 as the customer. Or, in an aggregation
13 situation, adjacent to the customer.

14 And so, you can imagine that that is
15 maybe impossible to get approval by the PUC or is
16 quite challenging to do. I mean, this is a
17 really outside-the-box kind of idea.

18 So, the next row is the GTSR program,
19 sort of our initial pass at what that looks like.
20 The issue that kind of gets you into reds here is
21 that the GTSR program is customer-centric, rather
22 than home-centric. And so, the customer can
23 choose to unsubscribe at any point. Can move and
24 take the subscription with them. And that could
25 end the benefit that the building department

1 approved to allow the home to go without onsite
2 solar and to this, instead, very prematurely in
3 the life of the building.

4 And so, that's the most significant
5 issue. It doesn't deliver savings to the home,
6 per say. There are some other issues. The
7 resource could be quite distant from the home and
8 maybe it's outside the building department's
9 jurisdiction, or maybe the building department
10 has difficulty accessing to verify.

11 And you might say, well, maybe this could
12 be a paper verification and you can trust what
13 came through the process. But building
14 officials, in general, are skeptical about things
15 that they're told. And in order to live up to
16 their responsibility for implementing code, they
17 want to be able to verify. So, I mean that could
18 become an issue.

19 It's possible that the GTSR program,
20 maybe a new variant on the program could be
21 approved by the PUC that would remedy some of
22 this stuff. So, I wouldn't say that's
23 impossible.

24 In fact, when we discussed these things
25 with E3, who's our contractor, Stella Price

1 (phonetic) thought that might be a feasible thing
2 that the GTSR could be modified in some way to be
3 okay.

4 The third option is the builder has PVs
5 installed in another location and establishes a
6 long-term mechanism to allocate the bill savings
7 that they received on that other property back to
8 the home.

9 And we give this -- the greens are a real
10 optimistic, hmmm that would work. You know, if
11 the builder would be willing to take that on that
12 actually could work. It's not against the law,
13 as far as we know.

14 But on the other hand it could be quite
15 complicated to do and requires a long-term
16 commitment of the builder. And the costs for
17 administering that would have to be somehow
18 allocated back to the home, as well.

19 So, that's why the yellows are there, you
20 know, it's kind of an in between.

21 The local government community facilities
22 district, with the bonds for funding the resource
23 and the POU, or the CCA administering a process
24 to ensure the energy bill benefits go back to the
25 home, we also think that could work. It could be

1 sweet. It could work very well.

2 The yellows are this is a heck of a lot
3 of work for the local government to invent this.
4 So, those are the reasons for the greens and
5 yellow there.

6 The next slide. So, what we're imagining
7 is in a -- we can't, the Energy Commission can't
8 necessarily invent a program here that will kind
9 of cover all these bases and will work. And, you
10 know, up front people will want to do and, you
11 know, we just call it out and just do X. We
12 don't think we're in that situation.

13 But we think that it is possible for a
14 community-shared solar alternative to be
15 developed. Perhaps by a local government or by
16 some other entity, perhaps by a very active
17 builder who's motivated to build it.

18 And so, we want to try to establish
19 opportunities for local governments or others to
20 create an alternative that kind of meets these
21 criterion.

22 We're imagining that we would establish
23 an application process in the standards, perhaps
24 put something in Part 1 that could be used for
25 accepting applications, and maybe even having a

1 public process to review applications. And be
2 open to people who might want to come forward,
3 local governments.

4 Probably, we should have asterisks on
5 this stuff. We probably should have the local
6 government that's going to be responsible for
7 being the building official on this to
8 demonstrate their support for that kind of
9 proposal, and taking on maybe that sort of a
10 little bit of outside-the-box responsibility.

11 And then, so we would see a review
12 process for applications at the Commission and
13 the potential for the Commission to be able to
14 approve community solar projects that meet these
15 criteria.

16 So, I think that's the last slide.

17 MR. BOZORGCHAMI: So, we'll open it up
18 right now for any questions/comments.

19 MR. NESBITT: George Nesbitt, HERS Rater.
20 So, Bill, will HERS Raters get to verify 100
21 percent of these systems that get installed on
22 the new houses?

23 MR. PENNINGTON: So, the staff has not
24 developed field verification requirements, yet,
25 but that's certainly in the offing.

1 MR. NESBITT: Yeah, we certainly fail
2 systems that don't work, but pass the building
3 inspection.

4 So, some of us have been around long
5 enough that you'll remember nine years ago we
6 were in this room, on the development of the
7 Title 20 HERS regulations and the whole house
8 rating system. And many of us talked about
9 recognizing something beyond the building.

10 So, the idea of not having to uninstall a
11 system on your building, on your property is not
12 a new idea, but it certainly has its challenges.

13 And I think you have to think about you
14 have one exception that's an out for a system.
15 So, what do they do instead? I mean, because
16 their house is shaded they don't have to make
17 this investment, they also don't get the benefit.

18 Other people have to make the investment
19 and they get the benefit. So, what do they do,
20 instead?

21 A couple other things to think about is I
22 can go out and buy 100 percent renewable energy
23 right now, for a little bit of money. And I
24 think what we -- in the big picture, do we just
25 want all new houses to be 100 percent renewable

1 energy or would we rather have all houses be 100
2 percent renewable energy? So, I think that's
3 really our ultimate goal.

4 So, obviously, some of these things are
5 more complicated. But I think having some
6 ability to go to a system outside of your
7 building -- it also opens up something because
8 all we're talking about is photovoltaic cells.
9 No wind, no hydro, no biomass. You know, other
10 things that would be renewable. So, this could
11 open up other diversified resources.

12 So, I guess the question is, really, if
13 you don't do it yourself what investment do you
14 make? And, honestly, that investment should stay
15 with the house and probably should last the life
16 of a mortgage, maybe. I mean, not that a PV
17 system and all its components necessarily last
18 the life of a house, but there is certainly an
19 expectation that panels will. You'll probably
20 have to change inverters.

21 But if you've made that investment
22 hopefully you're likely to keep it going. So, it
23 shouldn't just be a one house makes the
24 investment and the other doesn't. There needs to
25 be some level of equivalency.

1 And, yes, verifiable in the sense that it
2 is a real resource. And I don't think the
3 solution of, oh, yeah, buy 100 percent
4 electricity from the utility that seems like too
5 easy of an out, perhaps.

6 MR. PENNINGTON: Thanks.

7 MR. STONE: Nehemiah Stone, Stone Energy.

8 Bill, can you pull up slide 5? Very
9 good, well done. Well done, I'm impressed.

10 So, on that fourth bullet, why not have
11 verified resources online? I mean, it's not that
12 different from building departments looking at
13 HERS reports online, in the registry. So, they
14 wouldn't necessarily have to go out and look at
15 it themselves, if it was verified.

16 On slide -- on bullets 2 and 3, are you
17 meaning only as permanent as the site solar would
18 be, or are you talking about permanent as wall
19 insulation would be?

20 MR. PENNINGTON: Comparable to what it's
21 replacing.

22 MR. STONE: So, the site solar, okay.

23 The other thing I wanted to say is in a
24 way multi-family is community solar. You might
25 look to what's been done with multi-family over

1 time. I mean, virtual net metering, it seems
2 like a solution to an awful lot of this. All
3 that would have to change is that property line
4 boundary for the allowance.

5 So, if the PUC made a decision that for a
6 compliance option like this it doesn't have to be
7 on the same property or contiguous property, then
8 an awful lot of the stuff kind of goes away. You
9 know, you have a PPA that says, all right,
10 everybody that signed up for this they get this
11 share and they get it for the duration.

12 MR. PENNINGTON: So, the NEM program is
13 largely spelled out in statute in terms of that
14 expecting to be generation resource serving an
15 individual customer.

16 So, the PUC doesn't have a lot of wiggle
17 room there. So, it could be a statutory change.

18 MR. STONE: Well, all right, so the
19 Legislature first and then the PUC.

20 But I mean ten years ago the PUC did not
21 know what virtual net metering was. They had no
22 idea. You know, I had to explain it over and
23 over and finally gave up. And then, six months
24 later I was invited to a meeting or a hearing
25 where they directed the utilities to do virtual

1 net metering.

2 At that point, you know, changes had to
3 be made because initially, the way the tariff was
4 written is it had to be attached to the building.
5 Well, that meant that for most affordable housing
6 tax credit projects it couldn't be used because
7 there were multiple buildings. And you cannot,
8 by IRS law, give people in these apartments a
9 different rent than the people in these
10 apartments over here that are exactly the same,
11 just happen to be in a different building.

12 So, it got changed at that point to
13 define it at the property line.

14 It doesn't seem like it's that hard of a
15 lift to get it redefined for this kind of a
16 thing. Anyway.

17 MR. PENNINGTON: Thanks.

18 MR. STONE: I should have started with
19 this. I really want to thank you for taking this
20 seriously. This is very much needed and I really
21 appreciate that you guys have focused on this.

22 MR. PENNINGTON: Thanks.

23 Other comments or questions?

24 MR. SMITHWOOD: Brandon Smithwood with
25 the Solar Energy Industries Association, again.

1 I also appreciate that -- we also appreciate that
2 you are looking at this. We think it's really
3 important, not only in making sure that we can
4 continue to achieve an increasingly aggressive
5 code even if there are buildings that due to
6 shading or other challenges can't host the solar
7 on the building. But also because California
8 lacks a viable offsite or community solar option
9 for customers.

10 I was looking at your graph and a red,
11 frowny face is often how I feel when I think
12 about the Green Tariff Shared Renewables Program.

13 (Laughter)

14 MR. SMITHWOOD: Well, I laugh but it --
15 yeah. Anyway, there are a few things I want to
16 point out about GTSR which I think really make it
17 an unviable option for this use case.

18 The first, which is not a kind of
19 procedural issue, but which is one of giving fair
20 compensation to distribution generation is that
21 the way that ratepayer indifference was achieved
22 did not actually examine costs and benefits. And
23 both what was written in statute and how the
24 program was implemented through two rulemakings
25 really ended up with customers only getting

1 credited for a limited set of short-run benefits.

2 So, unavoided generation costs and, well
3 at least in Edison's case, a resource adequacy
4 credit.

5 If a system is, you know, distribution
6 sided, which presumably a lot of these -- which
7 presumably these systems, for these new housing
8 developments would be distribution side, you
9 really have to capture all of those benefits of
10 being downstream. Particularly, the avoided
11 transmission and distribution.

12 Developing a project, I mean if --
13 actually, I am glad you raised all the issues
14 with the AHJs, and the kind of the verification
15 piece of the Building Code, which I think is
16 something for us all to grapple with in our
17 comments.

18 But there's a layer of cumbersomeness
19 about the Enhanced Community Renewables Program
20 that is pretty profound. There are limitations
21 on the project size, which are likely to be too
22 large for new housing developers. The customers
23 need to be enrolled prior to the project going
24 online. The developer needs to demonstrate that
25 a certain amount of customers have expressed an

1 interest in the project within the certain
2 geographic area. There's a solicitation process
3 so that the developer and the utility develop a
4 non-financeable power purchase agreement. The
5 idea being that the utility can take any
6 unsubscribed power.

7 I could go on, but it's an extremely
8 cumbersome program and it undervalues distributed
9 generation. And the results are that the
10 participation has been pretty meager.

11 So, there's two components of the Green
12 Tariff Shared Renewables Program. There's a
13 Green Tariff Program, where the utility goes and
14 procures mostly, you know, larger generation and
15 customers just sign up on their bill.

16 And then, there's an Enhanced Community
17 Renewables Program where the developer takes the
18 lead and goes and gets the customers.

19 That Enhanced Community Renewables
20 Program, which is presumably what you would use,
21 the first solicitation that was held last August,
22 when the results came out early this year, there
23 were only 15 bidders, and there were zero --
24 there were 15 bidders. I think there were 8
25 conforming bids. And there were zero projects

1 that actually won contracts.

2 So, the part of the GTSR Program that
3 would presumably support Title 24 is moribund at
4 this point.

5 And on the Green Tariff side, that
6 program has had a rough start. It's been going
7 for about a year and a half, now, and less than 4
8 percent of the program's capacity has been used.
9 In fact, Edison's program now has less subscribed
10 capacity than it did six months ago, early in the
11 year.

12 So, we really are thrilled that the
13 Energy Commission is looking at this. We think
14 it's good that you're looking outside of the kind
15 of standard options.

16 And to the earlier gentleman's comment,
17 you know, we -- we don't have any decision makers
18 in here, right? Yeah, right, speak now.

19 We've been proposing a number of
20 expansions of the VNEM tariff and that could be -
21 - you really need a tariff, we think, to actually
22 make this work. And we believe that it's within
23 the Commission's, the bounds of what the
24 Commission can do within existing statute to make
25 that happen.

1 So, anyway, thanks for taking the time
2 and thanks again for your work on this.

3 MR. PENNINGTON: Thank you.

4 MR. MCHUGH: Jon McHugh, McHugh Energy.

5 This is probably some of the most
6 problematic parts of zero net energy is always
7 what do we do about the building that's in the
8 shade of a 300-year-old tree in the urban canyon,
9 et cetera?

10 And it's my take that probably any of the
11 solutions are probably going to be less than
12 optimal as compared to that building that
13 actually asks solar access.

14 And as a committee member of the ASHRAE
15 189.1 Standard for Green Buildings, we have a --
16 the standard is specifically designed for having
17 renewables as part of the energy portion of that
18 standard.

19 In that standard, they've got the same
20 issues. And, you know, all of the solutions were
21 less than ideal. But the thing that I think
22 everyone agreed on, or most of the members agreed
23 on was the idea that these alternatives were
24 alternatives. They weren't -- they were actually
25 an alternative of last resort. You actually had

1 to show in advance that the renewable energy
2 option was not feasible, whether you're in the
3 shade or -- of course, this is a nationwide
4 standard, so there's certain parts of the country
5 that also don't have much renewable resource for
6 the whole state or whatever.

7 We don't have that problem here, in
8 California.

9 I think one of the big issues, too, is
10 that we ended up with something that was really
11 sort of undesirable, which is the use of RECS.
12 The cost of RECS is so low that it's essentially
13 a non-requirement. You know, there's some issues
14 about the additionality, some of the issues that
15 you brought up, Bill.

16 But I actually see one of the benefits,
17 in addition to the renewable resources provided,
18 is that the renewable resource is actually
19 present valuing the cost of efficiency options
20 not chosen. So, when you buy a renewable energy
21 system, you've got to first cost. And, you know,
22 you can of course purchase a mortgage, you can
23 finance it different ways.

24 But there is a first cost that's
25 essentially offsetting that 20 years of

1 inefficiency that you're now trading back and
2 forth, ideally, between renewables. And also,
3 further levels of efficiency.

4 And, you know, one of the things that --
5 you know, we're also part of the United States
6 and we have those regulations around preemption
7 that prevent California from actually requiring
8 the highest, the maximum energy efficiency option
9 that's cost effective.

10 And this whole issue of present valuing
11 inefficiency really creates a market drive for
12 higher efficiency equipment that is actually
13 preempted.

14 So, I guess my point here is that
15 whatever options you look at, ideally it's an
16 option that is not something where you're
17 purchasing on a month-by-month basis, but there's
18 actually this first cost investment that is
19 comparable to -- you know, whether -- I'm not
20 trying to make it more expensive, but that you're
21 making that first cost investment over that --
22 you know, you're looking at the same time period
23 that you would for either your efficiency
24 investment or your investment in renewables.
25 Thank you.

1 MR. MEYER: Thank you very much, Jon.
2 Just really quick, before Pierre steps up, is one
3 thing that you'll sort of notice is sort of a
4 common theme in a lot of our standards is we're
5 trying to sort of send the right market signals.

6 And when it comes to whether it's
7 exceptions or alternatives, here what we're
8 trying to do is sort of show everyone, oh, here's
9 the pathway that works. You know, that you can
10 put renewables on your roof. There's some
11 benefits to the homeowner, there's some benefits
12 to the grid, there's things we can mitigate.

13 It's that, along with the market
14 transformation that's happened from the builders
15 who are building sort of ZNE communities, or near
16 ZNE communities. Local ordinances where local
17 jurisdictions are requiring beyond-code and
18 adding additional to get closer to the ZNE. But,
19 basically, adding more PV.

20 What our hope is by us moving forward
21 with PV in Part 6, with all of these other actors
22 sort of moving the market forward, that without
23 us having to say there are no exceptions at all
24 that the market will move in a point where the
25 builders realize if they want to sell their

1 house, you know, for a good profit,, if they want
2 to be able to move their inventory quickly, if
3 their house doesn't have PV because they've found
4 a way to use an exception their house may not
5 sell, or it may sit on the market longer.

6 If people look at the house next door
7 that has PV, they may end up buying that one.

8 So, we're sort of hoping that part of the
9 market transformation encourages builders to
10 design their communities that limits the
11 exceptions. That limits the use of exceptions.

12 We're not talking about having people
13 find ways around old-growth protection and, you
14 know, tree ordinances where they're cutting down
15 trees to put this stuff on there.

16 But we're talking about when you're
17 siting your houses, since we're mainly talking
18 about new houses, that you're thinking about it
19 smartly. That you're not putting, you know, your
20 huge community center or your big, two-story
21 that's shading a bunch of the other houses.

22 So, we're hoping that the market and the
23 future moves in the direction where people are
24 designing their communities better. They're
25 designing the houses better so that instead of us

1 having to rely on, you know, solar-ready portions
2 of houses and all those rules that the people who
3 are trying to sell these houses realize we have
4 to design these communities. We have to design
5 them to have these features in there just to sell
6 the house.

7 And those happen to be the features that
8 a lot of us are passionate about as far as moving
9 our GHG goals forward. So, that's just -- yes,
10 we don't want to put exceptions that drive a
11 house through size, so we're trying to keep them
12 small.

13 But we're also, on a different track,
14 trying to discourage people from looking towards
15 those as a viable option because it could have an
16 adverse impact on them.

17 Okay, sorry for keeping you waiting,
18 Pierre. Please.

19 MR. DELFORGE: I'm Pierre Delforge, from
20 NRDC. I think you've addressed partly one of my
21 comments, which is good. Pre-proactively or
22 preemptively, maybe.

23 Just a couple of high-level comments and
24 questions. First, I want to reiterate what other
25 speakers have mentioned that we really appreciate

1 the Commission looking at this and taking this
2 seriously. We think it's important and we
3 obviously support this and encourage you to
4 continue looking into it.

5 And we think it's important because it
6 provides flexibility. It provides a flexibility
7 on cost and to be able to deploy renewables, you
8 know, PV in particular at a lower cost. And also
9 in terms of design, community design, to be able
10 to put it where it works the best for the
11 community, which may be a parking lot. If
12 there's shading in the parking lot, then on the
13 roof, or whatever makes sense. You know, on the
14 pool, or whatever makes sense for the community.

15 I do have a question. I think you
16 mentioned, if I understood well at the beginning,
17 that you're looking at this as Part 11, or in
18 Part 6? Could you clarify what you meant there?

19 MR. PENNINGTON: Yeah, so this would be
20 an alternative in Part 6. You know, we would
21 build it that way. It also, potentially, could
22 be an alternative that local governments could do
23 in their Part 11 stuff.

24 I guess it feels a little bit like a
25 Reach activity, if you will, because there isn't

1 an approach that exists right now that you can
2 just say, bingo that works. This has to be
3 built. And so, it feels sort of like a Reach
4 kind of activity.

5 Also, it's pretty important, I think, for
6 a local government that's going to view this as
7 an acceptable option for code enforcement in
8 their area, for that local government to be
9 behind these approaches.

10 And so, I think that the idea of trying
11 to get a local government sort of endorsement of
12 an application, you know, that they're willing to
13 take this on also feels kind of like a Reach
14 activity, or a local government-originated
15 activity.

16 MR. DELFORGE: No, I hear you and I agree
17 largely with you. But I also think that in that
18 necessary -- require local governments to -- you
19 know, they have other priorities and, you know,
20 orientations and constraints. And I think it
21 would be good, and I think if you're planning to
22 put it into Part 6 as an alternative, it sounds
23 like it wouldn't require that.

24 So, it would be good to set a framework
25 and leave it pretty flexible in terms of who can

1 carry out the development of such programs. So
2 that, you know, there is that flexibility there
3 available if market actors are really motivated
4 to use it.

5 I heard what you said, Christopher, about
6 the exempt/exceptions and trying to make sure
7 that these are all counting on the fact that the
8 market, itself, is going to find -- you know,
9 take advantage of them.

10 I would still encourage the Commission to
11 make this part of an alternate requirement and
12 not to provide straight exceptions, but provide
13 alternative requirements when PV's not suitable.
14 Just as I mentioned this morning to ensure that
15 there isn't a strong incentive to find or to get,
16 really, exceptions. And just from a fairness
17 perspective to make sure that, you know, every
18 builder and customer does its fair share for
19 achieving clean energy, and carbon reductions,
20 and contributing to the State's goals.

21 And lastly, I don't think it was
22 mentioned, Bill, in your analysis, which it was
23 excellent and thank you for doing it. But I
24 think what about the aspects of maintenance of
25 shared systems? And when you have your own

1 system, you have less interest in making sure
2 it's working, the inverter's still working, and
3 the panels may be clean or not.

4 But when it becomes shared then, you
5 know, how does that work? And it may be
6 something to think about.

7 But again, thank you for looking into
8 this.

9 MR. MEYER: We've actually had a lot of
10 discussions on the maintenance issues, the pluses
11 and minuses of a group with funding versus an
12 individual, and who's more likely? And there's a
13 lot of pros and cons to both of them. But, yes,
14 we're talking about that.

15 We're also talking about we had first
16 looked at like, okay, what can we do as an
17 alternative to say, okay, you either do this or
18 you have -- instead of going right to exceptions,
19 you have to do these things.

20 As you can imagine, we've ratcheted the
21 building efficiency measures down so tight we're
22 getting to the point where it's hard to do
23 another one where it doesn't look like a penalty.
24 Because if someone puts a PV system on they have
25 a benefit back.

1 If I say, okay, well, instead of spending
2 \$10,000 on that, you spend \$10,000 on this
3 efficiency measure, but it may be cost effective
4 but, you know, not nearly to the extent of a PV
5 system. So, it ends up as sort of a penalty.

6 So, that's the kind of stuff we're -- we
7 are still talking about that, but we're trying to
8 make sure that it doesn't look like a tax, or a
9 penalty, or something like that. But it is
10 actually a true alternative.

11 But we haven't given up yet, but it's not
12 an easy one to do when in 2016 they did such a
13 good job on the single-family of getting the
14 efficiencies in such good shape.

15 MR. DELFORGE: No, I appreciate that.
16 And, you know, we shouldn't look at it as a
17 penalty. It doesn't necessarily have to match
18 the cost, it doesn't have to match the benefit.

19 But at least with you seeing that
20 difference between, you know, having PV or not
21 having PV, by providing or requiring some level
22 of efficiency or other things like, you know,
23 grid flexibility, re-harmonization measures, I
24 think it would help reduce the incentive for
25 seeking exceptions.

1 MR. PENNINGTON: So, Pierre, maybe you
2 could think about this a little bit. That
3 additional requirement would need to be cost
4 effective. And, you know, we've gone to a lot of
5 effort here to identify the things for this round
6 of standards that are potentially cost effective,
7 and that we've found to be cost effective.

8 And that magic thing that's sort of
9 outside of our view, that still we might be able
10 to require that's cost effective, and doesn't
11 come with a bunch of other issues that makes it,
12 you know -- that's the reason why it's
13 borderline. If we're not proposing it, you know,
14 we don't know of any just, yes, do this thing.

15 So, if you want to think about some ideas
16 there, where maybe there is something like that,
17 that's not preempted, and that is potentially
18 cost effective and doesn't come with a bunch of
19 issues, those would be okay.

20 MR. DELFORGE: Okay. Well, thank you for
21 the offer. We'll think about it and comment on
22 it, thanks.

23 MR. PENNINGTON: Sure, thanks.

24 MR. MEYER: This is what we call, too, as
25 throwing NRDC a hot potato.

1 (Laughter)

2 MR. NESBITT: George Nesbitt, HERS Rater.

3 So, back to that exception one, at the moment I

4 guess it just says, well, if it's not feasible.

5 So, I guess thinking about what is not feasible,

6 would that mean if you have to put in a 1

7 kilowatt system, if it was facing the south it

8 would produce X?

9 But if the 1 kilowatt system, as you

10 would put it in your orientation, with your

11 conditions, your shading primarily, if it

12 produces less than 75 percent of the ideal,

13 that's not feasible?

14 So, I guess that's a big question.

15 And then, the question of what do you do

16 if you don't have to put in the system? And my

17 first, my gut --

18 MR. PENNINGTON: So, George, let me see

19 if I understand. So, you're suggesting

20 requiring a sub-optimal PV system in that

21 situation that has a shading problem or

22 something?

23 MR. NESBITT: I'm suggesting defining

24 what is -- what's the criteria for that

25 exception.

1 MR. SHIRAKH: Maybe I can explain.

2 MR. NESBITT: At what point is it not
3 feasible? I mean, I would take that as being
4 you're investing money in something you're not
5 getting much out of, but at what point is that?

6 MR. SHIRAKH: You're talking about the
7 exception one?

8 MR. NESBITT: Exception one.

9 MR. SHIRAKH: So, the way it's currently
10 written is if there is a solar-ready area that's
11 greater than 80 square feet, and you can
12 accommodate a PV system, then you'll put that PV
13 system up to the amount that it can accommodate.

14 But if you have solar-ready areas that
15 are not 80 square feet contiguous, then there's
16 no requirement. So, it depends on the -- you
17 know, you could have a situation where you've got
18 an adjacent building or tree that shades part of
19 the roof, but all of it. In the part that it's
20 not shading, you could have 100 square foot of,
21 you know, good solar access.

22 MR. NESBITT: Right.

23 MR. SHIRAKH: Then you're required to put
24 a PV system in.

25 MR. NESBITT: Well, what we don't want is

1 the architect designing that choppy roof that
2 doesn't even have 80 square feet.

3 MR. SHIRAKH: You know, I mean it's a
4 possibility.

5 MR. NESBITT: I mean, that's an extreme
6 but --

7 MR. SHIRAKH: But I doubt if most
8 architects will do that.

9 MR. NESBITT: Well, they do that anyway,
10 that's just how they do it. So, I mean --

11 MR. SHIRAKH: And then, again --

12 MR. NESBITT: We're not asking them to do
13 something they don't already do.

14 MR. SHIRAKH: -- this is external
15 shading. It's not a roof self-shading is covered
16 by that exception, for exactly that reason. So,
17 you know, they need to think about their solar
18 access of the roof.

19 But, so these are for structures and
20 objects that are outside of builder's control.

21 MR. NESBITT: Right. But just at the
22 moment you just haven't necessarily presented
23 enough that's sort of, okay, that is not feasible
24 versus -- and as far as something to do instead
25 of putting in the system, I'd say the number one

1 thing would be QII. If it's the prescriptive
2 requirement, you can trade it off in performance.
3 Make it mandatory. But we'll make Bruce work
4 harder because we'll make it not part of your
5 actual compliance, so it has above compliance.
6 And we all know there's no matches with QII.

7 (Laughter)

8 MR. SHIRAKH: Joe?

9 MR. CAIN: Joe Cain, with SEIA. I
10 usually try to avoid me-too testimony. But I
11 want to express that I agree with several others
12 that I'm really, very thankful that you're taking
13 on this topic because it is a very challenging
14 topic and it's an important one and timely one.

15 A couple points that I would like to make
16 is that -- one of them is that this is kind of --
17 well, in other codes, you know, of course I'm on
18 the national stage, but we had this definition of
19 onsite renewables. And that's tough enough, by
20 itself, to define onsite renewables and get more
21 acceptance of that.

22 The question of offsite just kind of --
23 this is the first version, the kind of the small,
24 and close, and tight version of offsite which I
25 think will be useful not only in California, but

1 in the rest of the nation.

2 And because, you know, with the
3 California 2030 commercial goals, we're going to
4 have to talk with it. So, this is why I'm extra-
5 super pleased to see the Commission dealing with
6 it because it sort of sets the stage for some of
7 those same conversations we'll have as we move
8 into commercial ZNE.

9 One of the arguments, and I just wanted
10 to touch on one of the other things that I hear
11 in terms of opposition points is, well, the
12 building official doesn't want to be responsible
13 for -- here's my building here and there's
14 something else there.

15 But my experience, early in my career I
16 worked as a building department plan checker for
17 seven years. And my experience is that there is
18 a precedent for that sort of thing. And that was
19 where we had townhomes and there were property
20 lines, and they were individual owners, I own
21 this, you own that, we did require
22 foundation/roof maintenance agreements.

23 And even though they are different and
24 distinct owners, we needed to make sure that
25 because, you know, fire separation happens at the

1 roof and foundations are important, that should
2 something go -- you know, need maintenance, that
3 the parties already have a legally binding
4 contractual agreement.

5 And so I would say -- and from the
6 building department perspective, we didn't need
7 to get into the legal. We just needed to say
8 here's the -- we need you to give us the
9 agreement. Here's the parties, here's what it
10 says, it's executed. Throw it in our file and
11 that was the extent of it.

12 So, I think that some of these same
13 questions may come up in terms of building
14 department acceptance. Thanks.

15 MR. MEYER: Thank you.

16 MR. STONE: Nehemiah Stone, Stone Energy.

17 I have a clarifying question and then a
18 suggestion. Bill, when Pierre suggested that if
19 somebody is going to use the exception, then
20 there should be other measures they have to put
21 in use, and you mentioned preemption. But as a
22 compliance option, does preemption even -- I
23 mean, couldn't you, for example say you've got to
24 have a 3.5 COP heat pump water? I mean, couldn't
25 you do things like that, outside of --

1 MR. PENNINGTON: So, what you just
2 described is not a compliance option. You
3 basically are required to do that. You know,
4 it's not -- if, for some reason, it's outside of
5 your control that you can't comply with the
6 standard, and we want you to do like something
7 else --

8 MR. STONE: I got it, right.

9 MR. PENNINGTON: -- that's a requirement
10 that needs to be meeting all of the --

11 MR. STONE: Right. As I said, it was a
12 clarifying question, thank you.

13 The suggestion, it's already against
14 State law to build something that impedes
15 somebody else's solar access, at least in the
16 residential arena.

17 One of the questions that came up earlier
18 was about a subdivision. How do you make sure
19 that somebody doesn't decide to build a one-story
20 with solar on here, and somebody builds a two-
21 story next door?

22 You could cite that same thing and say
23 that the subdivision has to be laid out to
24 preserve solar access for all residential
25 buildings.

1 MR. PENNINGTON: Thanks.

2 MR. SHIRAKH: So, Brandon just used that
3 example, correct? Brandon DeYoung, from DeYoung.
4 You know, he just made that very same case that
5 they do have subdivisions that --

6 WEBEX COORDINATOR: We have a question
7 online. Barry, I'm going to go to you, now. Go
8 ahead and state your name and affiliation.

9 MR. HOOPER: Hi, this is Barry Hooper
10 with the San Francisco Department of the
11 Environment. I really appreciated this
12 presentation. And I disagree with most of the
13 commenters and some of the content of the
14 presentation, itself. From the point of the view
15 of the research we had to do to prepare San
16 Francisco's PV and Living Roof requirement for
17 most new construction.

18 You know, I think that if we step back,
19 as George in one of his comments came very close
20 to doing, the basis -- a core basis for the ZNE
21 goals was aiming for greenhouse gas-free building
22 operations. And another way of putting that is
23 100 percent renewable energy, which we're kind of
24 dialing back to interpreting as 100 percent
25 renewable electricity.

1 And then as a goal in the 2019 Standards,
2 in general, you want to communicate to the design
3 community as a priority. And then we're adding,
4 collectively, a new goal of coincidence of load
5 with generation or at least maximizing
6 consumption on site.

7 And so, you know, given those two things,
8 the PV requirement isn't being envisioned in the
9 first place as a penalty but that, therefore,
10 should have a certain ante that we should all
11 collectively pay into.

12 But, rather, a necessary way to ensure
13 that you could get to, reliably get to the 100
14 percent renewable electricity.

15 And so, therefore, you know, I think the
16 research kind of goes into some detail about how
17 complicated it could be to try to directly mimic
18 all of the attributes of the onsite PV.

19 But I think the one attribute that's
20 giving the greatest trouble is that those
21 resources be absolutely dedicated to the specific
22 unit or home. And that's likely to be a bigger
23 problem as you scale up to look at high-rise
24 multi-family and nonresidential, ultimately.

25 And so, I'd actually encourage and

1 stepping back and asking, you know, if the --
2 yes, PV, onsite PV has an upfront cost, but it
3 also has a long-term lower cost of power, so that
4 there's net benefit, as we're all aware, and you
5 have a similar cost signal of higher, ongoing
6 power costs if you purchased all of your
7 electricity, particularly if it's 100 percent
8 renewable electricity.

9 And so, I'd suggest you add an additional
10 compliance option where you set a set of criteria
11 for the local government to administer, but leave
12 them the flexibility to verify those criteria
13 were met.

14 And, you know, I think that a criteria
15 including onsite storage, efficient electric
16 appliances, and a durable restriction placed by
17 local governments, such as the entitlement
18 process as a condition of approval. To purchase
19 either 100 percent renewable electricity and
20 attaching that to the parcel, or attaching the
21 greatest level of renewable electricity that's
22 available would be a means to get back to the
23 same underlying goal.

24 And given that the CCAs, the IOUs, and
25 potentially equivalent tariffs and programs could

1 all contribute to those goals, in different cases
2 you'd have a pretty flexible approach.

3 And then, just as a comment to comments,
4 the State's solar access laws limit shading from
5 vegetation after the property, a given building
6 is constructed and not necessarily new structures
7 or buildings that end up obstructing that solar
8 access.

9 And that becomes important because
10 otherwise your right to add solar to your home
11 would be a taking of property rights to people to
12 your south, east or west, who currently had a
13 height limitation on their property that
14 currently allows them to build a taller building
15 than the level that would cause shading on your
16 site.

17 So that there is a risk borne by the
18 property owner for investing in solar and
19 installing that on a rooftop that's potentially
20 lower than what would be built by their
21 neighbors. Thanks.

22 MR. PENNINGTON: So, sir, thank you very
23 much for those comments. Can you put those in
24 writing to the Commission?

25 MR. HOPPER: Sure.

1 MR. PENNINGTON: Thank you.

2 MR. BOZORGCHAMI: So, it seems like
3 that's all the questions on this topic.

4 I'm going to open it up for any other
5 topics for today's discussions. Anything online?

6 If not, thank you for participating
7 today. Did a hand go up? No.

8 So, thank you for participating today.
9 And the presentations that you saw today will be
10 posted on our website soon. Thank you.

11 (Thereupon, the Workshop was adjourned at
12 3:29 p.m.)

13 ---oOo---

14

15

16

17

18

19

20

21

22

23

24

25

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of August, 2017.




Eduwiges Lastra
CER-915

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of August, 2017.



Barbara Little
Certified Transcriber
AAERT No. CET**D-520