

## DOCKETED

<b>Docket Number:</b>	17-BSTD-01
<b>Project Title:</b>	2019 Building Energy Efficiency Standards PreRulemaking
<b>TN #:</b>	221835
<b>Document Title:</b>	Transcript of the 1052017 Staff Workshop on the Draft 2019 Building Energy Efficiency Standards
<b>Description:</b>	N/A
<b>Filer:</b>	Cody Goldthrite
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	11/20/2017 10:58:44 AM
<b>Docketed Date:</b>	11/20/2017

CALIFORNIA ENERGY COMMISSION

In the Matter of:

Staff Workshop on the Draft     )     Docket No. 17-BSTD-01  
2019 Building Energy            )  
Efficiency Standards            )

---

CALIFORNIA ENERGY COMMISSION

ROSENFELD HEARING ROOM - FIRST FLOOR

1516 NINTH STREET

SACRAMENTO, CALIFORNIA

THURSDAY, OCTOBER 5, 2017

9:00 A.M.

Reported by:

Peter Petty

APPEARANCES

ENERGY COMMISSION STAFF

Payam Bozorgchami, Project Manager

Larry Froess, Project Manager

Peter Strait,

William Pennington

Maziar Shirakh

Jeff Miller, Building Standards Office

Mark Alatorre

Danny Tam, Building Standards Office

R.J. Wichert

Christopher Meyer, Building Standards Office

Meredith Alexander

STAKEHOLDERS

Bob Raymer, California Building Industry Association

Chris Walker, California Association of Sheet Metal and  
Air Conditioning Contractors

Tom Enslow, CALCTP

George Nesbitt, HERS Rater

John McHugh, McHugh Energy

Scott Blunk, SMUD

Mike Hodgson, Con-Sol

Kelly Cunningham, Pacific Gas and Electric

Aniruddh Roy, Goodman

## APPEARANCES

### STAKEHOLDERS

Laura Petrillo-Groh (via WebEx), Air Conditioning,  
Heating and  
Refrigeration Institute

Gary Flamm, GR Flamm Consulting

Tehemiah Stone, Stone Energy

Charlie Haack, NAIMA

Gabe Cubano, Owens Corning

Brandon Smithwood, Solar Energy Industries Association

Eric DeVito (via WebEx), SMXB Law

Joe Cain (via WebEx), Solar Energy Industries Association

Alex Hillbrand, Natural Resources Defense Council

Christine Tam, City of Palo Alto

Susan Callahan, LEDVANCE, LLC

Tanya Hernandez, Acuity Brands

Kelly Seeger, Philips Lighting

Francesca Wahl, Tesla

Andy Llorca, QC Manufacturing, Inc.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

P R O C E E D I N G S

9:04 A.M.

SACRAMENTO, CALIFORNIA

THURSDAY, OCTOBER 5, 2017

MR. BOZORGCHAMI: My name is Payam

Bozorgchami. I'm the Project Manager for the 2019 Standards. Some quick housekeeping rules. I think all of you guys that were here yesterday, you've heard this already, but I guess have to go through it again.

Restrooms, out the doors to your left. The snack bar is upstairs on the second floor. And in case of an emergency, you hear the alarms going off, please follow Mazi to the Roosevelt Park and he'll take care of you.

Some of the discussions for today is general going to be mainly about residential. There's a copy of the agenda today outside -- right around the podium there. If we finish the two topics early today, we will not go to lunch. We will do the third topic, the one -- what is it, the 150.1, the prescriptive requirements, then we'll take a quick lunch. I just want to get you guys out of here before the afternoon

1 Thursday traffic, if possible.

2           So a quick history. The California  
3 Energy Commission, the Energy Commission, started  
4 in 1975 through executive order by and funded by  
5 our dear friend Jerry Brown. Some of the policy  
6 drivers for us developing the Standards, with the  
7 help of our utility partners, we developed the  
8 Standards on a three-year cycle. And I'd like to  
9 give thanks to the partners that have been  
10 helping us out dramatically here, Pacific Gas &  
11 Electric, Southern California Edison, SoCalGas  
12 Company, San Diego Gas & Electric, Sacramento  
13 Municipal Utility District, Los Angeles  
14 Department of Water and Power, Southern  
15 California Public Power Authority, who, with  
16 their consultants, have helped provide the  
17 proposals that we have today for the 2019  
18 Building Codes -- Energy Codes, excuse me.

19           I also want to thank Heidi Hauenstein and  
20 Kelly Cunningham, whose been the key  
21 communicators between the Energy Commission and  
22 case team to make sure everything's flowing  
23 properly and getting the job done. And also  
24 Marshall Hunt who has really been there to help  
25 us out and has never said no whenever we needed a

1 studies done or information needed.

2           As you guys know, California is divided  
3 into 16 climatic zones. When we develop the  
4 Standards we look at every climate zone on its  
5 own. All of our measures have to go through a  
6 rigorous lifecycle cost analysis.

7           And the schedule for the 2019 Standards.  
8 This is -- this will be the 11th pre-rulemaking  
9 workshop that we've had here at the Energy  
10 Commission thus far. Previously the utility  
11 companies have had the case meetings within their  
12 organization where they've also done the same  
13 proposals. These are the workshops where they've  
14 taken feedbacks from the public prior to them  
15 submitting their reports to us.

16           We're trying -- we're shooting for  
17 January, mid-January to go into the -- to present  
18 the 45-day language here at the Energy  
19 Commission. And we're trying to -- with that,  
20 we're going to be posting the 45-day language on  
21 our website come November, mid-November.

22           So for today's workshop the comments are  
23 due on October 20th. But if you can, please  
24 submit your comments sooner, so we can actually  
25 start a dialogue sooner with you guys to make

1 sure that we have the proper information for our  
2 45-day language. That's very important to us.

3           The final case reports done by the  
4 utilities can be found on  
5 title24stakeholders.com. The -- as soon as the  
6 staff reports are completed, when we get all your  
7 comments back, those all will be developed and  
8 submitted or will be posted on our website,  
9 hopefully soon. I'm not sure exactly what  
10 timeline that looks at this time, but there will  
11 be a notification sent out to everyone when that  
12 is available.

13           And if you have comments on today's  
14 workshop, please submit it to our third link  
15 right there and we will respond to all comments  
16 at this time.

17           Key staff, as you know, Mazi Shirakh,  
18 myself, Larry, Peter, Christopher and Todd  
19 Froess. And then we have the other Building  
20 staff office members here who are the key people  
21 that you want to communicate if you have any  
22 questions or comments. There's quite a few of us  
23 here.

24           With that, yesterday we kind of missed  
25 discussing the ACM Approval Manual. So I asked



1 Larry Froess, who's the Senior Mechanical  
2 Engineer in charge of the ACM Manual, the  
3 Alternative Calculation Manual method, to give us  
4 a quick description of what's happening with that  
5 and what's -- and what's going to be posted  
6 online coming up soon.

7 MR. FROESS: Yeah. Good morning. My  
8 name is Larry Froess. And as Pay mentioned, I'm  
9 the Project Manager for the Commission compliance  
10 software known as CBEC Comm and CBEC Res. So  
11 we're proposing changes to the Alternative  
12 Calculation Methods Approval Manual, otherwise  
13 known as the ACM Approval Manual, which is the  
14 document that describes how compliance software  
15 is approved and decertified by the Energy  
16 Commission. This is not the ACM Reference Manual  
17 that describes the functionality requirements of  
18 the sw.

19 So there's a few changes. One of them  
20 was we just added some clarifying language  
21 regarding major and minor software changes. And  
22 then the second one is we clarified the ability  
23 for nonresidential software vendors to use an  
24 alternative simulation engine to produce their  
25 TDV, so we added a new section called -- in the

1 manual, Section 1.1.5. and below is the wording  
2 for those that would be interested in what it  
3 entails. So that's basically pretty simple  
4 changes.

5           And if there's any questions, I can help  
6 answer them.

7           MR. BOZORGCHAMI: Today's -- you'll see a  
8 lot of presentations being done today by  
9 different people. We're not presenting the non-  
10 substantive edits that we've done to the  
11 Standards. If there's a punctuation missing or  
12 there's a grammatical error that we did in 2016  
13 where we fixed in 2019, we're not going to  
14 present that today. But if you feel that there  
15 is something that we missed when that section  
16 comes up, please, please come up to the podium,  
17 present yourself, and we will -- we can discuss  
18 it at that time.

19           Any questions?

20           With that, I'm going to pass it on to our  
21 first presenter, and that's Peter Strait. And  
22 he's going to be talking about Sub Chapter 1.  
23 Oh, that's not the right --

24           UNIDENTIFIED MALE: The admin section.

25           MR. BOZORGCHAMI: Yeah. You got it? You

1 can take care of it. I'm not sure which one that  
2 is.

3 (Colloquy)

4 MR. STRAIT: Sorry about that. As I  
5 begin, I'd like to reiterate what Payam said.  
6 We're not perfect. There are going to be some  
7 areas in the code where we might need some help.  
8 There was actually an item yesterday that we  
9 fixed based on feedback from the public that  
10 caught -- that some change that we had made to  
11 the Lighting Section 130.1 had left out a small  
12 level of nuance. So we're absolutely interested  
13 in your feedback.

14 I'm just going to -- and also, this is  
15 just going to be a very quick flyover view of  
16 what the code does, what these changes. It's not  
17 going to a line-by-line walk through. That way  
18 it gives you the most time to get up at the  
19 podium and tell us what's going on. But we also  
20 highly encourage people to download and read the  
21 expressed terms and give us written comment and  
22 feedback, hopefully by October 20th.

23 So starting off, in 10-103, this is the  
24 language that talks about the Lighting Controls  
25 and Mechanical Controls Acceptance Test

1 Technician training and certification. The ATEs  
2 acceptance test employers, and ATTCP, the  
3 Acceptance Test training and certification  
4 providers -- or, I'm sorry, Acceptance Test  
5 Technician certification providers. We  
6 standardized the use of those terms throughout  
7 this section. We actually are using those  
8 abbreviations and we're not -- we're referring to  
9 them -- referring to them consistently.

10           We added some criteria related to  
11 decertification. The certification providers  
12 must track decertification status of ATTs and  
13 ATEs and must not admit individuals to their  
14 programs that have an unresolved decertification  
15 from another ATTCP. This prevents bad actors  
16 from just jumping ship and getting a second and  
17 third bite at the apple when they're not  
18 performing as good ATTs.

19           Staff are still working internally on  
20 resolving issues of onsite audits from Mechanical  
21 Acceptance Testers and an overlap of residential  
22 HERS requirements for the nonresidential  
23 Acceptance Testing. This is not shown as changes  
24 in the code currently. This just needs more  
25 development time, so we're working internally.

1 We hope to have that for the 45-day language.  
2 But if you're concerned about there not being  
3 changes to that effect in the code right now, we  
4 just are -- need to continue working internally  
5 and with stakeholders to develop those.

6           So we've provided the Energy Commission  
7 with the authority to rescind the threshold  
8 findings. This is the minimum threshold  
9 necessary for ATTs to be required on job sites.  
10 And this is in the event that that total number  
11 falls below what's required, that it gives us a  
12 logical amount of flexibility if situations  
13 change.

14           As I mentioned, there's new restrictions  
15 for decertified ATTs and, you know, what they  
16 have to do to regain a good standing,  
17 requirements for recertification training  
18 curriculum, and there's no proposed changes  
19 currently to the quality assurance.

20           More of the same. We've got -- we added  
21 "and ATE" to certification status. If ATEs are  
22 going to be certified, much like with ATTs, we  
23 need an ability to verify the certification  
24 status and it should be subject to the same. If  
25 for whatever reason someone gets decertified, if

1 there's a problem with someone, there needs to be  
2 something they have to do about that. And then,  
3 too, we updated the requirements for the  
4 reporting to include these decertification  
5 reports.

6           Moving on to 10-111, this is  
7 certification labeling of fenestration products.  
8 We inserted new language in 10-111(a)1A to  
9 clarify that,

10           "Temporary labels from manufactured  
11 fenestration products shall meet the  
12 requirements of 10-111(a)1B and that no other  
13 values shall be allowed."

14           We really need people to pay attention to  
15 these requirements and follow them closely.  
16 There was a little bit of gamesmanship going on  
17 and we wanted to put a stop to that.

18           We also replaced the term "certification"  
19 with the term "rating" in Section 10-113 relating  
20 to labeling of roofing products, to clarify that  
21 the CRRC does not certify cool roof products but  
22 rather rates them. We also replaced the term  
23 "accelerated age" with "rapid rating" because the  
24 CRRC program has now adopted an accelerated age  
25 test called Rapid Rating, so it's for

1 consistency.

2           In 10-115, this is a new section we've  
3 added for community-shared solar-electric  
4 generation systems. We've established criteria  
5 and processes for entities to apply to the  
6 Commission for approval to administer a  
7 community-shared solar or community-shared  
8 battery storage system. An exception is proposed  
9 to be added to section 150.1(b) that will enable  
10 a community-shared solar or battery storage  
11 system that is approved by the Commission to  
12 substitute in whole or in part for onsite solar  
13 or battery storage requirements. This serves a  
14 need that's been identified for, you know,  
15 planned residential communities, not to have a  
16 solar panel on each and every roof. But if they  
17 want to set aside a block of that land for an  
18 installation that's going to serve all of those  
19 residential homes, that they can do so. This is  
20 the first cut at trying to establish a framework  
21 by which these relationships can be established.  
22 We hope this starts a productive dialogue with  
23 the stakeholders that are affected by or might  
24 wish to participate in these kinds of programs.

25           And that's it for the admin sections.

1 These are the sections in Part 1 that also govern  
2 what we do in Part 6.

3 If anyone has any questions, please.

4 Microphone.

5 MR. RAYMER: This is Bob Raymer  
6 representing the California Building Industry  
7 Association. And I'd like to start off with the  
8 language, and sort of going through relatively  
9 quickly paragraph by paragraph. And I'll just  
10 reference the subsections here.

11 In the first subsection, community-shared  
12 solar-electric generation, subsection (a),  
13 there's a reference to "may be approved." And  
14 this kind of seems at odds with the final  
15 sentence which states "to be approved." We're be  
16 providing some suggested tweak language that  
17 could help out. Ultimately, it probably should  
18 read shall be approved if you meet the following  
19 requirements.

20 And CBI is strongly supporting what the  
21 Commission is doing here, particularly whether  
22 you can set up a program for partial or total  
23 offset. We've got several production builders  
24 who have access to significant roof areas or  
25 unbuildable land. And, quite frankly, it could be



1 more cost effective to build a small solar farm  
2 than it would be on -- you know, put two or three  
3 kilowatts on each roof.

4           Moving on to the enforcement agency, I'm  
5 assuming the enforcement agency for the most part  
6 is the building department; is that correct?

7 Thank you.

8           Down the road we'd like to see you give  
9 some examples of what you're going to consider  
10 development entitlements, but that will get more  
11 into my comments in just a minute, and sort of  
12 why does the documentation of development  
13 entitlements need to be completed prior to the  
14 initial permit inspection? Since the CEC is  
15 already going to be requiring the community-  
16 shared system to be up and running in time for  
17 compliance inspection, why do you really are  
18 about getting the entitlement documentation well  
19 before initial permit application submittal date,  
20 which is usually the first part -- the first  
21 administrative action? So once again, we'll be  
22 thinking of some language to tweak there.

23           Moving on, the dedicated -- item three,  
24 dedicated energy savings benefits, the second  
25 sentence in this, which is worded very well,

1 seems to negate the need for subsection (2). And  
2 so once again, we'll be making some suggestions.  
3 I suspect the word "un-offset" is a typo. I  
4 think it appears in the third line there. It  
5 says "otherwise have been required to have an un-  
6 offset onsite solar." I'm not quite sure what  
7 you mean by that.

8           Moving on to durability, this is where  
9 we've got some, I guess, at least questions or  
10 concerns. Under durability you're suggesting  
11 that we demonstrate a 20-year productivity for  
12 this system. And number one, we're going to be  
13 asking why was the period 20 years chosen? How  
14 does one go about demonstrating a useful life of  
15 20 years? Is this through a warranty or  
16 whatever? And no matter what, if this is the  
17 case this seems to establish sort of a precedent  
18 in Building Standards that has been largely left  
19 to statutory provisions. You know, we already  
20 have, in home building, a ten-year obligation  
21 that's set up in statute. And we're kind of  
22 wondering, is this required anywhere else for  
23 like HVAC, windows or whatever? It just seems an  
24 odd placement. I realize this is sort of a new  
25 system, but it seems in the Building Standards,

1 why would you necessarily be putting this there?

2 Under additionality, it seems pretty  
3 clear that you want, you know, the power from  
4 this particular solar farm going to a particular  
5 project. But keep in mind, large production  
6 builders may have access to some rather  
7 significant areas of unbuildable land and, quite  
8 frankly, they could put together a solar farm  
9 that could basically be used for multiple  
10 projects. Obviously, they're still going to have  
11 to do all the documentation for each individual  
12 project. But I hope the Energy Commission  
13 doesn't limit each little solar farm to one  
14 particular project if they can demonstrate that  
15 you're going to have enough for Project A,  
16 Project B, maybe even Project C, just looking  
17 down the line.

18 Onto application and Commission approval.  
19 This is under little (b) and little (c). This is  
20 just a request. As we go through the adoption  
21 process and get into the development of the ACM  
22 Manuals and all that, it's really going to be  
23 useful for us to get a clear idea of the type of  
24 documentation that the CEC is going to want so  
25 that by the time we actually get to somebody

1 actually submitting their approval package to the  
2 Commission, that we know what it is you want it  
3 in. Going back to the 1980s, I realize it's  
4 ancient history, but there were some other things  
5 where the Commission was given the option or the  
6 ability to approve certain things. And it was  
7 kind of left up to the first two applications to  
8 figure out what was considered to be completed  
9 documentation. And so that extent that we can  
10 work all this out before people start submitting  
11 the documentation so they know what that  
12 submittal package is going to look like, that  
13 would be great.

14           And now for a moment, I'm not going to be  
15 here for the afternoon. I'll be taking off, and  
16 Mike Hodgson will be taken over for me. And if I  
17 could I'd like to deviate a little bit and just  
18 give you some very quick comments on our concern  
19 with the wall proposal.

20           MR. PENNINGTON: Bob, should I respond to  
21 your comment --

22           MR. RAYMER: Sure.

23           MR. PENNINGTON: -- about --

24           UNIDENTIFIED MALE: Pennington, can you  
25 use your mike?

1           MR. PENNINGTON:  Sorry.  Bill Pennington,  
2  Commission Staff.

3           Just to have a teensy of dialogue here,  
4  Bob, on the community solar comments, thank you  
5  very much for your comments.

6           One of the things that's quite clear  
7  related to community solar is that, at least for  
8  IOUs, the only statutorily allowed approach that  
9  works through the IOUs and uses the grid to  
10 deliver the energy is the GTSR program.

11          MR. RAYMER:  The what?

12          MR. PENNINGTON:  Okay.

13          MR. RAYMER:  Gotcha.

14          MR. PENNINGTON:  And that has, as we  
15 presented at workshop, quite significant  
16 limitations on what is possible.  And some of the  
17 things that you described are -- don't sound  
18 possible under that program.  So we should  
19 discuss that for sure.

20          There is a possibility, you know, one  
21 item that we presented at workshop was that the  
22 builders could potentially put solar on another  
23 building they own and get energy bill benefits  
24 through the NIM program for that program, and  
25 then administer a program to allocate those

1 energy bill benefits to individual homeowners.  
2 And that's a legal possibility, in my opinion,  
3 but would require substantial effort over the  
4 life of the home, actually, for the builder.

5           So just wanted to alert you that -- of  
6 those things. And I'd love to spend some time  
7 to --

8           MR. RAYMER: Sure.

9           MR. PENNINGTON: -- dial in on that.

10           I appreciate the comments related to  
11 durability and why is this unique compared to  
12 other kinds of things that may fail during --  
13 fail early, and the Standards kind of don't  
14 protect against air conditioners failing early or  
15 whatever.

16           The thing that's radically different  
17 about this approach than measures installed in a  
18 building is this is some alternative that exists  
19 somewhere else that's not part of the building.  
20 It's not sort of normal, you know, potential  
21 failure. It's the granting of an alternative to  
22 allow the benefits from solar to be provided  
23 offsite through some, you know, administrative  
24 process. And we think it's really important to  
25 make sure that those benefits don't disappear

1 after one year --

2 MR. RAYMER: Uh-huh.

3 MR. PENNINGTON: -- or two months or, you  
4 know, name a date, but actually last  
5 approximately the same length of time as if the  
6 solar had been installed in the building. And we  
7 appreciate that that's a challenging thing to try  
8 to establish an approach in regulation, so we  
9 took an early shot here of maybe an approach.  
10 But we do think it's radically different and it  
11 needs to -- it needs the protection that normally  
12 doesn't occur for protecting it against equipment  
13 failing early.

14 MR. RAYMER: And I'm inclined to agree  
15 with you. That makes sense. This is sort of a  
16 significant deviation from past practice. And so  
17 I guess going forward we just need to kind of  
18 work out what you're going to want to see in  
19 terms of, you know, durability --

20 MR. PENNINGTON: Yeah.

21 MR. RAYMER: -- and demonstration. Yeah.

22 MR. PENNINGTON: Yeah. And one other.  
23 This thing about the entitlements prior to  
24 permit, in the IEPR policies that have been  
25 describing the potential for this approach for

1 several IEPR cycles, there was strong emphasis on  
2 making sure that any kind of alternative here,  
3 administrative alternative that's allowed here is  
4 not disruptive to the normal building  
5 department's process for taking plans, checking  
6 them, making sure it got installed. And we don't  
7 want to be in a situation where, if possible,  
8 this alternative actually doesn't exist at the  
9 time that the building department is trying to  
10 make a decision about whether or not to approve  
11 this building. And so that's the idea for why we  
12 would want all those development entitlements  
13 wrapped up, ready to go --

14 MR. RAYMER: As you start, right.

15 MR. PENNINGTON: -- you know, as you  
16 start.

17 Now maybe there's some flexibility there  
18 that you would have some insight into how we  
19 might do that. But, you know --

20 MR. RAYMER: I think the fact is that  
21 they're going to have all this put together  
22 anyway, you know, because they're already gone  
23 through the planning and land use development  
24 process. And so I think, as opposed to saying it  
25 shouldn't be done, that's not what we're saying,



1 I think we need to find a way to sort of  
2 encapsulate this into sort of a common submittal,  
3 because there's probably going to be a number of  
4 entities that are going to want to be looking at  
5 this documentation.

6 MR. PENNINGTON: Right.

7 MR. RAYMER: And so we agree.

8 MR. PENNINGTON: Okay.

9 MR. RAYMER: Good.

10 MR. PENNINGTON: Thanks for your comment.

11 MR. RAYMER: Thanks. And getting back to  
12 the comments that sort of Mike will be providing  
13 later on today, just in general, and I know I've  
14 said this to Staff on a number of occasions and  
15 we've mentioned it at previous workshops, it goes  
16 without saying, this update, the 2019 regs  
17 represents the single biggest and most costly  
18 change to the Residential Building Code in the  
19 history of the Residential Building Code. This is  
20 a quantum leap from where we've been in the past.

21 The renewable energy component, coupled  
22 with the changes to high-performance attics and  
23 QII, will propose a significant challenge to  
24 industry like no other update to the codes in the  
25 past 40 years. And that's why we're asking the

1 CEC to reconsider their proposed change to high-  
2 performance walls.

3           Unlike the high-performance attic  
4 proposal and the QII proposals, the wall  
5 proposal, as it stands today, is, number one, an  
6 extremely high cost efficiency measure. It's an  
7 extremely difficult design measure to implement.  
8 And most importantly, it has very limited, if  
9 any, benefit to the consumer over the 30-year  
10 life of the dwelling. Even given the best cost  
11 considerations, as the case team has done, this  
12 proposal barely squeaks by the benefit cost  
13 analysis.

14           So that's why at this point we're asking  
15 the CEC to revisit this proposal and consider  
16 holding onto it until the 2022 update.

17           But once again, we're still going to be  
18 available to have a dialogue on this as we go  
19 forward. But this seems to be the one particular  
20 issue in the efficiency component that we've got  
21 our greatest concern with.

22           So thank you.

23           MR. SHIRAKH: May I ask you a question?

24           MR. RAYMER: Sure. Sure.

25           MR. SHIRAKH: So your proposal is

1 basically leave 2016 there?

2 MR. RAYMER: We'd prefer that at this  
3 point. But once again, we're open to discussion,  
4 yes.

5 MR. SHIRAKH: I'm Mazi Shirakh, by the  
6 way. I'm sorry.

7 MR. BOZORGCHAMI: Any other comments on  
8 the general provision section Part 1? Okay.

9 MR. WALKER: Good morning. So I'm  
10 actually here to comment on the 10-103.1, the  
11 ATTCP. My name is Chris Walker. I'm  
12 representing CAL SMACNA, the California  
13 Association of Sheet Metal Air Conditioning  
14 Contractors, representing 300 contractors  
15 throughout the State of California. Again, I'm  
16 going to direct my comments to 10-103.1 -- or  
17 excuse me, .2 on the Mechanical Acceptance Test  
18 Training and Certification Program.

19 Our contractors and our partners have  
20 invested well over \$2 million into this program  
21 since it was conceived in 2012. In the last ten  
22 months there has been a lapse in any recognized  
23 ATTCPs on the mechanical side by this Commission  
24 because there has been a major stumbling block  
25 when it comes to the QA, quality assurance, with

1 the onsite audits. When it comes to lighting,  
2 the onsite audits are one thing. When it comes  
3 to the mechanical side it's a complete different  
4 world. And because of that problem, we have seen  
5 decertification of all of our technicians and  
6 the, basically, lack of recognition of our ATTCP  
7 programs that we've invested in so much.

8           Resolving the QA, and I appreciate the  
9 fact that it remains an issue of discussion with  
10 stakeholders, we will continue to meet with  
11 Staff. But this issue needs to be resolved in a  
12 way that doesn't result in huge cost drivers and  
13 practical concerns for both the industry and the  
14 end users, owners of buildings. Certainly, it  
15 can get out of hand real quick where it outgrows  
16 the actual energy benefit.

17           So we look forward to resolving the  
18 onsite audit question. And hopefully the Energy  
19 Commission will consider the alternative that was  
20 proposed in the workshop in July.

21           That concludes --

22           MR. BOZORGCHAMI: Mr. Walker --

23           MR. WALKER: Yes?

24           MR. BOZORGCHAMI: -- let's have a  
25 discussion offline on this and maybe try to see

1 what we can do to resolve the issue.

2 MR. WALKER: Great.

3 MR. BOZORGCHAMI: Okay.

4 MR. WALKER: Thank you.

5 MR. BOZORGCHAMI: I'm willing to listen  
6 and talk.

7 MR. ENSLOW: Good morning. Tom Enslow on  
8 behalf of behalf of CALCTP. I'm also talking  
9 about the ATTCP regulations. I have just have  
10 three comments.

11 The first is a concern with the amendment  
12 that makes a provision for making the  
13 requirements to u/se certified Lighting Control  
14 Acceptance Testers no longer a requirement if  
15 industry coverage requirements fall below the  
16 threshold. We're concerned about that for a  
17 couple reasons.

18 First, we think it's a little unusual.  
19 I'm not sure that HERS raters have the same  
20 requirements that, you know, if they don't reach  
21 a certain threshold then suddenly that program is  
22 no longer in there. And we have all these  
23 technicians that want to make sure that they can  
24 rely on this program going forward as they've  
25 invested in it, and they'll continue to invest in

1 it as they get recertified.

2           And at the same time, it seems like a  
3 solution in search of a problem. There's over  
4 1,000 -- I believe there's over 1,000 Lighting  
5 Control Acceptance Testers now. It's not --  
6 we're not in a situation where we're at risk of  
7 falling below a number that's needed to serve the  
8 needs of the state.

9           But on the other hand we have a real  
10 issue with the fact that these acceptance tests -  
11 - the requirement to use a certified Acceptance  
12 Tester is not being enforced across the state.  
13 You know, we still have -- I mean this year  
14 alone, we still see at least 20 counties where  
15 there hasn't -- which haven't used a single  
16 certified Acceptance Tester. And we reported  
17 that, you know, even a few more counties in that  
18 last year, plus numerous jurisdictions where, you  
19 know, we've been, you know, reporting projects  
20 that aren't using certified Acceptance Testers  
21 for lighting control projects that they should be  
22 using them for.

23           So this is -- you know, when we are  
24 telling, you know, a certified Lighting Control  
25 Acceptance Tester Technician in Modoc County to

1 get recertified and he hasn't gotten a single job  
2 because no one's enforcing it in his region,  
3 that's undermining this program. And then on top  
4 of this, it gives some sort of indication that  
5 maybe this requirement may go away altogether.  
6 We believe it further undermines the confidence  
7 that the technicians have in this program, and we  
8 need them to have confidence if this is going to  
9 move -- continue to move forward, if they're  
10 going to continue to recertify every three years  
11 and, in many cases, have to take additional  
12 training to get up to speed on new requirements.

13           So for us the bigger issue here is  
14 enforcement. We just haven't seen enforcement by  
15 the CEC or the local jurisdictions to make sure  
16 that this is actually going to be required  
17 everywhere, and so that's our bigger concern  
18 there.

19           Two other comments.

20           One, you add a provision that we -- that  
21 the ATTCPs need to describe their process for  
22 recertifying technicians that have been  
23 decertified. We just want to clarify that the  
24 Commission is not suggesting that if someone's  
25 been decertified for fraudulent activity or

1 something like that, that we have to have a  
2 process to bring them back. I mean, there's  
3 different ways someone can be decertified. They  
4 might not take the training. They might just  
5 lapse, and we want to process for that. But we  
6 want to make sure, you know, if someone has been  
7 decertified for more substantive reasons --

8 MR. BOZORGCHAMI: That's a good point and  
9 we need to clarify that.

10 MR. STRAIT: Yeah. Yeah.

11 MR. BOZORGCHAMI: That's a good point.

12 MR. STRAIT: Our intent is for those, the  
13 cases where there's not a reason not to recertify  
14 them. So, yes, we would be -- we would agree  
15 with that comment.

16 MR. ENSLOW: Oh, great.

17 And then the last point, just to touch on  
18 what Chris Walker spoke about, we think it's  
19 really important that the HVAC Acceptance Test  
20 Certification Requirements become mandatory.  
21 They put a lot of money into it. And we think  
22 that will also help enforcement in the lighting  
23 control side. And we feel, you know, it has the  
24 same policy implications that you have Acceptance  
25 Testers that don't know what they're doing, these



1 acceptance tests are kind of useless, so you need  
2 to make sure people are trained.

3           Now we strongly support the quality  
4 assurance requirements in lighting control. We  
5 exceed the one percent requirement. We found it  
6 to be very useful to do onsite testing. And it's  
7 been feasible for us. We've been able to make it  
8 cost effective in our program. But it's very  
9 different. You know, we don't have to shut down  
10 systems. It's less costly. We understand it's a  
11 different animal. And if it needs to be  
12 treated -- we don't want a situation where Staff  
13 feels that they need to treat lighting control  
14 exactly the same as HVAC. It is different.  
15 Let's require what is feasible.

16           But if it's -- the problem is seeking  
17 perfection on the HVAC side, the bigger issue is  
18 having people who aren't trained at all, so let's  
19 get that program going, maybe address the QA with  
20 that after it gets a little more mature and has  
21 been going on for a couple years.

22           But we want to keep the QA the same, you  
23 know, for lighting control. But we recognize  
24 there are some difficulties in HVAC that maybe  
25 need a little flexibility.

1           MR. BOZORGCHAMI: Yeah. We did get some  
2 comments on that previously, that it's easier for  
3 the lighting QAs to be done versus the mechanical  
4 systems. And I would also like to have a  
5 dialogue, if possible, offline on that and see  
6 what we could do.

7           MR. ENSLOW: Great. Thank you.

8           MR. BOZORGCHAMI: Thank you.

9           MR. NESBITT: George Nesbitt, HERS Rater.  
10           In the past workshop on the ATCPs, and as  
11 well as now, we've heard a lot of things we hear  
12 in the HERS industry. Providers say it's too hard  
13 and too expensive to do QA, although they only  
14 have to do one percent, and I think HERS is two  
15 percent. We hear about technicians not actually  
16 testing things but just filling out paperwork and  
17 passing things. And, of course, the whole issue  
18 of building department lack of enforcement  
19 undercuts our industry. We're losing jobs or you  
20 lose competitiveness because other people aren't  
21 doing it. They're getting away with it. Then  
22 people, you know, don't want to pay for it.

23           So we have very common, I think, issues  
24 between the two systems. Also, the complaint  
25 about the cost of becoming a provider. So it's

1 just interesting.

2           And as a HERS Rater, I have had my HERS  
3 provider decertified, which forced me to go back  
4 and spend more money and time to get reapproved  
5 with another provider, as well as to go through  
6 the whole house training, essentially, for a  
7 third time. So it's quite painful as a rater or  
8 tester to -- you know, when we're tied to that  
9 provider, and then when you have providers with  
10 that provider, you punish us for their problems.  
11 Where, you know, if we have been tested and  
12 approved by a provider, we should be recognized  
13 by all, I mean, so that it's easy -- you know,  
14 that we're not punished for their problems.

15           Anyway, and then just on the community  
16 solar, I mean, you're defining a product that I  
17 think does not exist in the marketplace  
18 currently. I mean, currently in a multifamily  
19 project you have virtual net metering, and it's  
20 easy to allocate. And I think there's a couple  
21 different ways you can allocate the output to all  
22 the different individual meters. I believe  
23 there's also a virtual net metering that allows  
24 adjacent partial parcels to have net metering,  
25 but it's based on the parcels actually being

1 physically adjacent to each other, and probably  
2 the system has to be on one of those. But I  
3 don't think current we really have a structure  
4 for a system built offsite in the regulatory.

5           So I can see, yes, I think what you're  
6 trying to do is provide for something, but it  
7 doesn't exist yet; is that correct? Essentially,  
8 that's what --

9           MR. BOZORGCHAMI: That's correct.

10           MR. NESBITT: Yeah. Yeah. And, I mean,  
11 I think also the issue, you know, Bob talking  
12 about it, being entitlements, I think, you know,  
13 even there, just because you have a contract, it  
14 doesn't mean things happen. I mean, you know,  
15 that's, I think, going to be a difficulty. Yes,  
16 you could have contracts that this community  
17 system is going to be built, but how many times  
18 have we seen PV farms that have been approved not  
19 get done or they've changed from a thermal to a  
20 PV and whatnot, so there's no guarantee that it  
21 gets built until it's built.

22           MR. MCHUGH: John McHugh, McHugh Energy.

23           We've heard a couple times here, and also  
24 at the earlier acceptance testing workshop, about  
25 the problems associated with sort of

1 retrospectively coming back and validating, you  
2 know, a certain percentage of mechanical systems  
3 have been tested correctly.

4

5           In 2013 when a lot of this started, the  
6 ASHRAE Commissioning Standard, Standard 202,  
7 2013, had yet not been developed because, of  
8 course we developed the 2013 Standard back in  
9 2011. Since that time, ASHRAE does have a ANSI  
10 Standard for commissioning. And as part of that  
11 commissioning standard is a requirement that the  
12 commissioning agent -- there's Section 12 of it  
13 where it talks about developing the checklists  
14 and test procedures, but more importantly it  
15 requires that the commissioning agent witness,  
16 you know, a sample of the tests. And, you know,  
17 if the commissioning agent is essentially doing  
18 their job as per, you know, the ASHRAE  
19 Commissioning Standard, you'd actually have,  
20 basically, a validation of the acceptance test on  
21 every single project, rather than one percent.

22           Also, in addition, the commissioning  
23 agent is usually, you know, directly hired by  
24 either the design team or the -- or by the owner.  
25 And so it reduces the amount of conflict of

1 interest of, you know, someone who's hired by the  
2 mechanical contractor to witness those tests.

3           So I suggest that potentially you  
4 actually already have something in place that  
5 then sort of takes the burden off of the  
6 mechanical acceptance testing providers, places  
7 it directly on, you know, on someone who's hired  
8 by somebody who has a financial interest in  
9 having that equipment being correctly tested. So  
10 it's something to consider.

11           Thank you.

12           MR. STRAIT: Actually, I've got a quick  
13 follow-up question on that.

14           If there's a situation where the  
15 commissioning agent is not also an ATT and  
16 therefore is not necessarily intimately familiar  
17 with the tests being performed, what is their  
18 ability to spot when a test is performed  
19 incorrectly?

20           MR. MCHUGH: You know, that's a good  
21 question.

22           First off, the acceptance tests are  
23 published. So we have the acceptance test  
24 described in both the NA-7 document, as well as  
25 in the Nonresidential Compliance Manual. There's

1 actually quite a bit of description of the  
2 overview of those tests. And my understanding  
3 is, is that then all the training that, you know,  
4 flows down to the acceptance testing agents are  
5 also -- you know, are in compliance with those  
6 two documents.

7 MR. STRAIT: Right. But I mean, there's  
8 no requirement for the commissioning agent to  
9 familiarize themselves with that body of  
10 knowledge?

11 MR. MCHUGH: Yeah. So -- but as a  
12 commissioning agent, you know, especially if  
13 they're developing a commissioning plan in  
14 compliance with the ASHRAE Standard 202, that's  
15 actually part and parcel of their job. That's  
16 kind of what they do for a living is  
17 understanding these tests and actually making  
18 sure that it's performed and witnessing those  
19 tests.

20 MR. STRAIT: All right. Thank you.

21 MR. MCHUGH: Sure. Thank you.

22 MR. BOZORGCHAMI: Are there any comments  
23 online? Okay.

24 As there's no comments online -- yes,  
25 ma'am?

1           So if there's no comments, let's move on  
2 to the mandatory minimum requirements for  
3 residential low-rise buildings, or low-rise  
4 residential. Jeff Miller is going to start off  
5 on this.

6           MR. MILLER: Hello. I'm Jeff Miller.  
7 I'm an Engineer in the Buildings Standards  
8 Office. I'm presenting changes to Section 150.0.

9           Section 150.0(d) is proposing simply to  
10 clarify by adding the word "framed floors," so  
11 that it's clear that the requirement is  
12 applicable to wood framed assemblies.

13           Section 150.0(i) for thermostats, the  
14 change that's described in this slide is,  
15 actually, I don't think shown in the language.  
16 It was supposed to. Staff is discussing whether  
17 the term "setback" is still relevant. Perhaps  
18 the word thermostatic controls is more  
19 appropriate.

20           Section 150.0(m)12 deals with air filter  
21 requirements. Section 12(a) -- subsection 12(a)  
22 is applicable to air filter efficiency. We're  
23 proposing MERV 13 for all systems, so it's  
24 applicable to duct and mechanical space  
25 conditioning, also for supply ventilation systems



1 and the supply side of balanced ventilation  
2 systems.

3           Subsection 12(b) describes the  
4 requirements for systems design. And essentially  
5 this states that the pressure drop across the  
6 filter must be accommodated in the design. And  
7 I'll say here, I'll also repeat it later, these  
8 requirements diverge from some of the  
9 requirements in ASHRAE 62.2.

10           And so when we list the amendments to our  
11 reference to ASHRAE 62.2, we'll say that the  
12 requirements that are stated in Section 12 here  
13 are to dominate.

14           Subsection 12(c) -- well, this is a  
15 repeat, so we're increasing from MERV 6 to MERV  
16 13.

17           So I think we're getting started with the  
18 amendments here. It's a little awkward. I  
19 didn't write these bullets.

20           One of the requirements in 62.2 is to  
21 establish a default value, establish a value for  
22 the required ventilation airflow, and there's a  
23 basic value that's determined. And then when  
24 it's applicable, an infiltration credit can be  
25 applied. For single-family dwellings, our

1 proposal is to determine a default value for  
2 infiltration credit, rather than determining that  
3 value with a blower door test. And so the  
4 proposal is to use the CFM 50 for that dwelling  
5 that would result in 2 ACH 50 for that dwelling.  
6 So it requires understanding that the goal is  
7 that we expect the default to correspond to 2 ACH  
8 50 leakage for the dwelling, but it's, in fact,  
9 the CFM 50 for the blower door that's used in the  
10 equation to determine the value for the  
11 ventilation that's required. Okay. All right.  
12 Okay.

13           So now we're in 150.0(o), and moving  
14 through the amendments. So I'm just going to  
15 read this.

16           "All multifamily attached dwelling units  
17 shall have mechanical ventilation airflow  
18 rates in accordance with ASHRAE 62.2, Section  
19 4.1.1, and comply with one of the following  
20 alternatives."

21           So Section 4.1.1 is the basic equation  
22 for ventilation airflow, and it does not include  
23 an infiltration credit. So what this means is  
24 that multifamily buildings don't qualify for an  
25 infiltration credit.

1 Multifamily dwellings will have an  
2 opportunity to comply one of two ways. They  
3 either choose to use a balanced ventilation  
4 system, or if they verify that the dwelling  
5 enclosure leaks less than 0.03 CFM per square  
6 foot of enclosure area using a blower door test,  
7 then they're allowed to use continuous exhaust  
8 only or continuous supply-only ventilation  
9 systems. And the emphasis here is on continuous.  
10 This is -- this excludes intermittent strategies  
11 for multifamily buildings. Balanced systems  
12 could be intermittent; they could operate  
13 intermittently.

14 So this is the last slide, and this is  
15 actually sort of out of order, but we're back  
16 into 150.0(m). We're proposing to change the fan  
17 efficacy for gas furnaces only, reduce it from  
18 the current 0.58 watt per CFM to 0.45 watt per  
19 CFM. There's no change to the existing 0.58 watt  
20 per CFM required for air handling units that are  
21 not gas furnaces, so there will be two different  
22 targets depending on which system that you've  
23 installed. It's a mandatory requirement in  
24 150.0(m)13. It's also a prescriptive requirement  
25 in 150.1(c)10. That's where the requirements for

1 central fan integrated ventilation systems is  
2 located.

3           There's no change to Table 150.0(b),  
4 150.0(c), return duct design compliance  
5 alternative, which is available as an alternative  
6 to doing the HERS verification for fan efficacy.  
7 I anticipate that Staff is going to discuss the  
8 information in those tables. And it seems to me  
9 the pressure drop across the filter grills could  
10 be reevaluated, but we haven't don't that work at  
11 this point.

12           And there's an addition for small duct  
13 high velocity system. The value for fan efficacy  
14 compliance is 0.54 watt per CFM for those  
15 systems. And the airflow rate for the  
16 verification is 250 CFM per ton.

17           I think this is the last slide. I'll  
18 take questions now, anyone.

19           MR. SHIRAKH: Actually, I just wanted to  
20 add something about the thermostats, which is not  
21 in the language but we're considering. The  
22 setback thermostat, I believe they're required to  
23 have two on-off periods. And the proposal is to  
24 actually increase that by one or two to  
25 accommodate time-of-use rates. Most -- all NIM

1 customers are going to be on time-of-use by  
2 having more time periods on/off. The homeowner  
3 can actually program the thermostat to take  
4 advantage of the time variation that the TOU  
5 offers. So that is the proposal that we're  
6 considering.

7 MR. MILLER: Cool.

8 MR. SHIRAKH: Most thermostats, I think,  
9 actually accommodate more periods, so we're just  
10 going to put it in the code.

11 UNIDENTIFIED MALE: Do they write  
12 instructions for seniors?

13 (Colloquy)

14 MR. NESBITT: George Nesbitt, HERS Rater.

15 First, on the thermostat, I guess rather  
16 than using the term "setback," I think the term  
17 we probably want to use is programmable. But I  
18 guess it also raises a question about  
19 thermostats, like the Nest, that are not  
20 programmable directly by the user, but are sort  
21 of programmed automatically. I think our intent  
22 has always been that -- I mean, you know, a lot  
23 of programmable -- I use mine mostly as on/off,  
24 but anyway, thermostats, yes.

25 According to the agenda, I guess there's

1 a couple things you didn't go over. But you also  
2 sort of went into the next section as part of  
3 this section, so I'm not sure what to talk about.  
4 So I'm going to talk about the 150.0(j), the pipe  
5 installation and aligning it with the plumbing  
6 code. I don't recall at the moment what the  
7 current spec is, but I'm not sure if it wasn't  
8 already one inch. I've never installed one-inch  
9 pipe insulation on any of the pipes I have ever  
10 installed.

11           The problem with specifying the thickness  
12 is -- and I think the way the charts and the code  
13 have been written, and I've raised this probably  
14 for two code cycles in a row, is you're based on  
15 thickness with an assumed value that you could  
16 actually convert to an R value, because when you  
17 go buy pipe insulation they're usually labeled  
18 with an R value. And the R value and the  
19 thickness varies, depending on the type of  
20 material that the pipe insulation is made out of.  
21 So while I may have never installed a one-inch  
22 pipe insulation, I have probably always installed  
23 pipe insulation that has had an R value equal or  
24 greater than what the code has assumed.

25           So I'd really highly recommend that you

1 convert pipe insulation to an R value, a minimum  
2 R value. Let people decide what material they  
3 buy and what thickness to meet that R value.  
4 Simplification.

5 Are you going to talk more about  
6 residential lighting elsewhere?

7 MR. MILLER: Lighting? That wouldn't be  
8 me.

9 MR. BOZORGCHAMI: There will be. We're  
10 going to take a ten-minute break right after the  
11 comment period of this.

12 MR. NESBITT: Okay. Because --

13 MR. BOZORGCHAMI: And then -- yeah.

14 MR. NESBITT: Because you've mixed up -

15 MR. BOZORGCHAMI: Yeah. There was a --

16 MR. NESBITT: -- the agenda, so --

17 MR. BOZORGCHAMI: There was a mess up -

18 MR. NESBITT: -- you'll have to --

19 MR. BOZORGCHAMI: -- in the presentations  
20 here.

21 MR. NESBITT: -- forgive me.

22 MR. BOZORGCHAMI: Yeah. There will be a  
23 presentation on lighting.

24 MR. NESBITT: Then I'll put that off.

25 Where -- okay.

1           So the multifamily compartmentalization  
2 blower door test if you install continuous supply  
3 or exhaust ventilation, great, let's just put in  
4 a control that turns off the fan for one minute  
5 every hour; it's no longer continuous. Now we  
6 don't have to do the blower door test.

7           So, I mean, even if -- people will  
8 probably install them continuous. They'll  
9 probably run them continuous. And chances are  
10 this is another section of the code that will  
11 never get enforced, and that you can easily work  
12 around.

13           We either need to recognize that  
14 multifamily compartmentalization is primary and  
15 important for energy reasons, comfort reasons,  
16 health reasons, odor reasons, fire control  
17 reasons. You know, we expect that it happens,  
18 but it doesn't really happen. So as written,  
19 having it only apply to continuous is really easy  
20 to get around.

21           MR. MILLER: Well, I think continuous  
22 would be the requirement. If you go that route  
23 the requirement would be to operate it  
24 continuously.

25           MR. NESBITT: And no one will be saying



1 they're going to do it continuous, although they  
2 may end up running it that way.

3           So kind of getting into the fan and  
4 the -- well, MERV 13 air filters, and then the  
5 whole issue of the fan efficacy.

6           So I don't remember in previous  
7 workshops, but apparently now the proposal is  
8 that only a gas -- a ducted gas furnace would  
9 have to have a 0.45 --

10           MR. MILLER: Yes, if it's the --

11           MR. NESBITT: -- threshold?

12           MR. MILLER: -- air handler for a cooling  
13 system.

14           MR. NESBITT: Well, that's not what -- I  
15 mean, you can have a gas furnace without cooling.  
16 So my point -- okay.

17           So I put in a hydronic air handler. I  
18 put in a heat pump. I don't have to meet the  
19 0.45.

20           MR. MILLER: You have to meet the 0.58.

21           MR. NESBITT: Why? It's a fan and it's  
22 airflow. I mean, there's nothing unique about a  
23 gas furnace, an air handler with a gas heat  
24 exchanger that says it can meet 0.45, but none of  
25 these other technologies can, with the exception

1 of the high velocity duct system and, of course,  
2 ductless mini splits. Those are different  
3 technologies and do have limitations.

4 MR. MILLER: We've been advised that air  
5 handlers that will not be required to comply with  
6 the new federal rule may not be able to meet the  
7 lower fan efficacy rate. And if that's true,  
8 even if they weren't attached to duct work, then  
9 we're facing the possibility of a preemption  
10 challenge. That's my understanding.

11 MR. NESBITT: Okay. Was 0.58 actually  
12 previously a federal standard, or was that  
13 something --

14 MR. MILLER: No.

15 MR. NESBITT: -- we came up with?

16 MR. MILLER: No. No. No. The fan  
17 efficacy target is reflection of both the  
18 efficiency of the fan and also the quality of the  
19 duct system that the fan is attached to. And the  
20 value of 0.58 was chosen, as I understand it, to  
21 be something attainable by all systems.

22 MR. NESBITT: Yeah, 0.58 is readily  
23 attainable. And the 0.45 is readily attainable  
24 by non-ECM motors with a reasonable duct design.  
25 And I --

1           MR. MILLER: I advise that it may not be  
2 true for all fans, yes.

3           MR. NESBITT: Fans are fans. I mean,  
4 these are all -- you know, whether you put --

5           MR. SHIRAKH: We're not going to be  
6 debating, and I have your comments.

7           MR. NESBITT: Yeah. Anyway, it makes no  
8 sense. I can understand if the federal  
9 government is coming up with a standard for gas  
10 furnace and not something else, that maybe now  
11 you can't preempt it. But other than that,  
12 technology-wise, air handlers are air handlers.

13           The ventilation requirement for 62.2. So  
14 you're assuming a 2 ACH 50, and then you're  
15 giving credit, in quotes, "credit" if someone  
16 does a blower door test and does worse. It's not  
17 a credit. It's a penalty because it means their  
18 house will be more drafty, they'll have higher  
19 bills, they'll be less comfortable, and maybe  
20 they'll have worse indoor air quality because  
21 we're going to reduce the amount of ventilation  
22 they need. And nationally the goal is 3 ACH 50  
23 or less. So if you're going to give credit, you  
24 should not give credit beyond 3 ACH 50, because  
25 really that's where we should be anyway.

1           MR. MILLER:  Maybe I should just do a  
2 reality check to clarify this.  The term  
3 "infiltration credit," as I've used it, doesn't  
4 have anything to do with the ACM credit for --  
5 are you -- would do that.

6           MR. NESBITT:  I understand that.

7           MR. MILLER:  Okay.  So it's --

8           MR. NESBITT:  You're doing it to adjust  
9 the amount of required -- minimum required  
10 airflow --

11          MR. MILLER:  Yes.

12          MR. NESBITT:  -- to meet 6.2, I  
13 understand that.

14          MR. MILLER:  With the idea being that if  
15 the envelope is leaky, it provides some  
16 ventilation.

17          MR. NESBITT:  Yes.

18          MR. MILLER:  Okay.

19          MR. NESBITT:  I just think --

20          MR. MILLER:  All right.

21          MR. NESBITT:  -- the idea of giving  
22 something that's called a credit based on that is  
23 a really bad idea.

24          MR. BLUNK:  Hello.  I'm Scott Blunk from  
25 SMUD.

1           In this section there's talk of the main  
2 electric service panel has reserved space for a  
3 circuit breaker for PV, and I support that. I  
4 would like to see, in future updates, a place  
5 where there's reserve space in the panel to  
6 convert a home to all electric. I think, like  
7 most people think -- agree -- will agree that in  
8 the future they will not be able to buy a car  
9 with gasoline, I think in the future that's going  
10 to be true in buildings, where you won't be able  
11 to buy a new building that has gas in it. And I  
12 think the more houses we build that are not able  
13 to easily be switched to an all-electric, it's  
14 just going to hurt the efforts down the road.

15           So I'd love at least one for maybe the  
16 space heating or the water heating, maybe all  
17 three, including the cooking, but to have space  
18 available in the panel for those in the future  
19 when the state or the country is transitioning to  
20 an all-electric future I think would be a really  
21 nice added piece in here.

22           Thanks.

23           MR. BOZORGCHAMI: Thank you. That was a  
24 good comment.

25           UNIDENTIFIED MALE: (Off mike.)

1 (Indiscernible.)

2 So is there a problem with the existing  
3 panels having space for an additional end use --

4 COURT REPORTER: Speak up or pull the  
5 mike a little closer.

6 MR. PENNINGTON: All right. So I'll obey  
7 the recorder.

8 MR. BOZORGCHAMI: Okay. Good boy.

9 MR. PENNINGTON: So my question is: Is  
10 there a problem with the existing panels not  
11 having the ability to add another electric  
12 function? Is that really a problem?

13 MR. BLUNK: It is a problem. I have a  
14 fairly newly built home. And once the pool and  
15 water heater are added I've used up my panel  
16 space. And I don't think that's unusual.  
17 Certainly in older homes or smaller panels, it's  
18 a large concern. So anything in a retrofit  
19 situation where a new panel is going in, making  
20 sure that there's enough space for that down the  
21 road is important. And apparently it was  
22 important enough to include in the Standards for  
23 PV, so there obviously was a concern at some  
24 point that there wasn't enough space for PV. And  
25 like we're prewiring for EVs and PV, like I think

1 we should be doing the same thing for space  
2 heating and water heating and, ideally, for  
3 cooking, as well.

4 MR. PENNINGTON: Okay. So you'll present  
5 an argument for that in your written comments?

6 MR. BLUNK: I will do written comments --

7 MR. PENNINGTON: Okay. Thank you.

8 MR. BLUNK: -- about that. Thank you.

9 MR. BOZORGCHAMI: Thank you.

10 MR. RAYMER: Bob Raymer with California  
11 Building Industry Association.

12 It's an interesting proposal. I can tell  
13 you, as some of you who are familiar with the  
14 Green Code are aware, we did amend the Part 11  
15 provisions for residential where all new homes  
16 starting July of 2015 are required to have panels  
17 with enough empty slots for the later  
18 installation of EV charging equipment. And this  
19 may be something that the CEC may want to  
20 consider for, you know, one of the voluntary  
21 tiers for CALGreen, at least to kind of kick it  
22 off, but it's an interesting idea. The state  
23 seems to be heading in that direction anyway and  
24 this is sort of a way to make sort of a  
25 transition.

1 But interesting idea. Thank you.

2 MR. HODGSON: Mike Hodgson, Con-Sol,  
3 representing CVIA.

4 Hi Jeff.

5 MR. MILLER: Hi Mike.

6 MR. HODGSON: A bunch of questions for  
7 you.

8 MR. MILLER: Oh, great.

9 MR. HODGSON: I guess I should cite, this  
10 is 150.1(c)10, which is the fan watt draw.

11 MR. MILLER: Okay.

12 MR. HODGSON: I understand the federal  
13 requirements. But the reality is when we look in  
14 the databases of the HERS registries there's very  
15 few systems that are in the 0.45 to 0.50 range;  
16 0.58 is the standard currently. And people are  
17 typically in the mid-0.50s. So the caution is,  
18 is we have a fairly good percentage of market  
19 share with condensate furnaces, and they do have  
20 ECM motors, but we're not testing at the level  
21 that this is a mandatory requirement for.

22 And so I think there's other influences  
23 on this requirement. And I think we should  
24 probably talk about how it can get implemented in  
25 the field. But what I read as a mandatory



1 feature, and a pass/fail, basically, is a HERS  
2 rater comes and it doesn't meet 0.45, then this  
3 house would fail. And in my experience is that's  
4 99 percent of the homes that we have right now,  
5 so that's a concern.

6           So there's something here that we need to  
7 figure out when I'm trying to preempt whatever  
8 the federal government is doing, but maybe the  
9 implementation of it could be looked at. And I  
10 think I would recommend talking to both CHEERS  
11 and CalCERTS, who actually have this data, and  
12 some of the large rating companies who work with  
13 production builders and figure out what's going  
14 on.

15           MR. MILLER: Are you saying that the data  
16 in the registries discloses that 0.58 cannot be  
17 met?

18           MR. HODGSON: No, 0.45.

19           MR. MILLER: Okay.

20           MR. HODGSON: They're meeting 0.58 and  
21 that's not an issue. But the 0.45, we looked in  
22 our database and we have none. That's not a good  
23 representation to market because we don't have  
24 market share.

25           Ross King's comments to the docket

1 earlier from CalCERTS kind of also represent this  
2 issue. And so I'm just saying I think it is a  
3 significant issue. And as a mandatory feature it  
4 could be a real potential hazard in the field for  
5 home building, so we want to kind of figure out  
6 what's going on. I'm not saying to change it, we  
7 just don't know what to do with it yet.

8 MR. MILLER: We should say at this point  
9 that a research task is underway now to do  
10 laboratory testing of these types of air handlers  
11 and expose them to the types of static pressures  
12 that would be expected in the field to determine  
13 whether it's correct to expect that those systems  
14 will comply -- will be able to comply with the  
15 0.45. And there will be a report made available  
16 to you, probably not until sometime in November,  
17 however.

18 MR. HODGSON: Okay. So it will be before  
19 45-day language?

20 MR. MILLER: Yes. Uh-huh.

21 MR. HODGSON: Okay. Great. Good. Look  
22 forward to that.

23 MR. MILLER: Okay.

24 MR. ALATORRE: Mike, I wanted to comment  
25 on this.

1           Granted, this is in response to a federal  
2 government rule on furnace vents, which most  
3 likely will take effect on the manufacture date  
4 of a furnace vent -- of a furnace. So it may be  
5 even more appropriate to attach a manufacturing  
6 date to this rule; right?

7           MR. HODGSON: Right.

8           MR. ALATORRE: Is that what you're trying  
9 to get at?

10          MR. HODGSON: Yeah. Yeah. Let's just  
11 dig down into that data --

12          MR. ALATORRE: Yeah.

13          MR. HODGSON: -- because I honestly don't  
14 know the answer. And I don't know even the date  
15 of when did the -- when was the manufactured  
16 date? When is the rule effective?

17          MR. ALATORRE: I think it's going to go  
18 into effect in 2019, that new rule.

19          MR. HODGSON: Yeah.

20          MR. ALATORRE: So we've done that in the  
21 past for like EER --

22          MR. HODGSON: Right.

23          MR. ALATORRE: -- for systems that are  
24 manufactured after a certain date, they have to  
25 comply with the new EER requirement. And that

1 might be the way to go about requiring they  
2 perform at 0.45.

3           MR. MILLER: Yeah. I think we can get  
4 kind of an inkling of what's going on because we  
5 have so many condensate furnaces and they have  
6 ECM motors, which is really I think what's  
7 driving this requirement of 0.45. So we should  
8 be finding those answers in the field, I mean --  
9 those results, I should say, in the field and  
10 we're not. And so, you know, what other issues  
11 are coming up to prevent us from getting that?  
12 And I just want to -- and if you have a research  
13 project, that's great to hear, and we'd love to  
14 understand what the issues are.

15           MR. HODGSON: Okay. Just a clarification  
16 on duct leakage. You did not mention this, I  
17 don't believe, Jeff, but it's in Section C.  
18 There's too many numbers to mention. But I  
19 pointed this out to Staff a few days ago. For  
20 multifamily, it says in C -- this would be 150.0-  
21 something C, it's on page 281, that it mentions  
22 duct leakage for multifamily cannot exceed six  
23 percent. But in the table it references, which  
24 is RA 3.1.2 -- actually, excuse me, 3.1.4.3.4, it  
25 says a six percent, ~~strikeout~~ five percent.

1

2 MR. MILLER: I was talking with Mark  
3 about this yesterday. So I think the five  
4 percent was implemented for 2016 Standards. And  
5 then there's a disconnect as of the 2016  
6 Standards, and so we have an opportunity to  
7 correct that now. The question is whether we're  
8 justified in doing that for newly constructed  
9 buildings for multifamily or not? I think there  
10 was justification. Mark might be able to talk  
11 about this more.

12 MR. HODGSON: Okay.

13 MR. MILLER: It was clear, I think, for  
14 single-family, but maybe not for multifamily.  
15 I'm not sure.

16 MR. ALATORRE: Yeah. I need to go back  
17 to the analysis we did under the 2016 and see if  
18 it included multifamily. It might have only  
19 included single-family detached. That's why we  
20 didn't make the change.

21 MR. HODGSON: Okay.

22 MR. ALATORRE: If it was just an error  
23 and the analysis did include it, we'll make the  
24 update.

25 MR. HODGSON: So either the table will

1 change or --

2 MR. ALATORRE: Or the standard.

3 MR. HODGSON: -- the mandatory feature?

4 MR. ALATORRE: Yeah.

5 MR. HODGSON: Got it.

6 MR. SHIRAKH: But do we have any data in  
7 CalcERTS or CHEERS to see what kind of --

8 MR. ALATORRE: Well, that's what we used  
9 for the 2016, which --

10 MR. SHIRAKH: Exactly.

11 MR. ALATORRE: Yeah. I need to go back  
12 and look it over to see if it included both.

13 MR. SHIRAKH: Okay.

14 MR. ALATORRE: Yeah.

15 MR. HODGSON: And I can be happy to make  
16 the inquiry, but we didn't do that. We weren't  
17 looking for that.

18 MR. SHIRAKH: And that's how we justify  
19 five percent for single-family.

20 MR. HODGSON: Okay. Well, I'm sure it  
21 was cost effective, too, Mazi; right? Okay.

22 On Section H, on the ventilation indoor  
23 air quality, Jeff that you've so elegantly  
24 explained --

25 MR. MILLER: Oh, thank you. That was

1 nice to hear.

2 MR. HODGSON: -- and I still don't get  
3 it --

4 MR. MILLER: Yeah.

5 MR. HODGSON: -- but I'm one of the slow  
6 guys here, but -- so I just want to -- so what  
7 you're doing here is setting a default based on  
8 an envelope leakage of 2 ACH 50. And that  
9 default is going to be used where?

10 MR. MILLER: So there's a basic equation  
11 that defines the amount of ventilation air  
12 required by ASHRAE 62.2 based on condition floor  
13 area and number of occupants or number of  
14 bedrooms.

15 MR. HODGSON: Uh-huh.

16 MR. MILLER: That's your basic value.  
17 There's an allowance for single-family dwellings  
18 to reduce that value if the envelope leaks. And  
19 so it's the value from a blower door test that's  
20 used to determine how much that value can be  
21 reduced.

22 MR. HODGSON: Okay.

23 MR. MILLER: And so the --

24 MR. HODGSON: But this says --

25 MR. MILLER: -- proposal is to --

1 MR. HODGSON: Two.

2 MR. MILLER: -- use what that blower door  
3 test airflow rate would be for that dwelling if  
4 the result from that blower test was 2 ACH 50.

5 MR. HODGSON: Okay. Well, we have no  
6 buildings -- well, I should say this, very few  
7 buildings tested 2 ACH 50.

8 MR. MILLER: It's pretty tight, yeah.

9 MR. HODGSON: It's incredibly tight.

10 MR. MILLER: It's not a big credit. It's  
11 not a big reduction.

12 MR. HODGSON: Okay. But this is in the  
13 mandatory features section. And the verbiage in  
14 front of it says "shall." So I'm trying to  
15 figure out where this default value will be used.

16 MR. MILLER: It's --

17 MR. HODGSON: Is it used in the  
18 prescriptive package to general performance  
19 results? Is it used as a pass/fail for a HERS  
20 rater? I don't get that.

21 MR. MILLER: So it's the specification  
22 for what the expected ventilation airflow rate is  
23 for that dwelling.

24 MR. HODGSON: Right. Okay. So this is  
25 single-family and, I believe, attached single-



1 family. So there's now going to be a mandatory  
2 ventilation rate based on 2 ACH 50 that you have  
3 to pass/fail; is that correct?

4 MR. MILLER: Yes.

5 MR. HODGSON: Okay. So then the building  
6 industry will strenuously object to this because  
7 it's impossible to do.

8 MR. ALATORRE: The requirement isn't for  
9 the dwelling to be sealed to leak no more than 2  
10 ACH 50.

11 MR. HODGSON: Okay.

12 MR. ALATORRE: It's -- that's a default  
13 value to assuming you're calculating your  
14 ventilation rate.

15 The second part where it says "when the  
16 dwelling unit envelope leaks less," that when you  
17 intentionally take credit in the software to have  
18 a lower than 2 ACH 50.

19 MR. MILLER: There's a disconnect,  
20 intentional decoupling of the credit for envelope  
21 leakage, which is performance compliance --

22 MR. HODGSON: Yeah.

23 MR. MILLER: -- which does require a  
24 blower door test.

25 MR. HODGSON: Okay.

1           MR. MILLER: That's not expected to be  
2 done to establish ventilation airflow. A blower  
3 door test is not required to establish  
4 ventilation airflow.

5           MR. SHIRAKH: I think this is just an  
6 assumption for calculation of air flows for IAQ.

7           MR. HODGSON: Well, I get that.

8           MR. SHIRAKH: This is not --

9           MR. HODGSON: That's my preference and  
10 that's what I'm trying to figure out. If it's an  
11 assumption, than it should not be here. It  
12 should not be in the mandatory features section.

13          MR. PENNINGTON: So why don't we discuss  
14 this offline.

15          MR. HODGSON: Okay.

16          MR. PENNINGTON: I think this actually is  
17 to the benefit of builders -

18          MR. HODGSON: Yeah.

19          MR. PENNINGTON: -- do this.

20          MR. HODGSON: Okay.

21          MR. PENNINGTON: Otherwise you would have  
22 to be doing blower door testing on every house to  
23 figure out how much leakage you have that you  
24 would be able to use to determine how big your  
25 fan exhaust fan has to be, your ventilation fan.

1 And rather than do all that and impose that kind  
2 of cost on every house, this assumes a  
3 pessimistic infiltration level in the house.

4 MR. HODGSON: Pessimistic?

5 MR. PENNINGTON: Pessimistic, you know,  
6 very, very low infiltration in the house.

7 MR. HODGSON: Okay.

8 EXECUTIVE DIRECTOR SOBECK: And it says,  
9 okay, you need to actually make the ventilation  
10 up with the fan. And so that has a marginal  
11 increase on the size of the fan, not huge, but it  
12 avoids having to do blower door testing on every  
13 house. We would think that the building industry  
14 would very much appreciate that.

15 MR. HODGSON: Okay. I would agree with  
16 that statement.

17 MR. PENNINGTON: Okay.

18 MR. HODGSON: But the way -- it's, I  
19 don't think, very clearly portrayed in a  
20 mandatory feature. And it --

21 MR. PENNINGTON: Okay.

22 MR. HODGSON: And the words in that  
23 section say "these buildings shall comply with."  
24 And the way it can be read potentially --

25 MR. PENNINGTON: Okay.

1 MR. HODGSON: -- is that there's two air  
2 (indiscernible).

3 MR. PENNINGTON: Okay. Well, we can work  
4 on the wording.

5 MR. HODGSON: Right.

6 MR. PENNINGTON: And I'll have a  
7 conversation with you and --

8 MR. HODGSON: That would be great.

9 MR. PENNINGTON: -- to make sure you  
10 understand.

11 MR. HODGSON: Well, yeah, I would love to  
12 understand it, but I'm not the only one here that  
13 needs to understand it.

14 I think the issue is if it's really going  
15 to be how to define a modeling assumption on a  
16 base case, then it goes in a different section,  
17 not in the mandatory features. But we can  
18 discuss that too.

19 MR. PENNINGTON: Okay.

20 MR. HODGSON: Thank you.

21 MS. CUNNINGHAM: Kelly Cunningham, PG&E.

22 In support of the 0.45 watts per CFM  
23 question, we've received input from stakeholders  
24 that further information would help gain  
25 confidence in this measure. So the case team has

1 embarked on a study where we are, in an  
2 accelerated study, testing furnaces to provide  
3 additional data. So to just make clarification,  
4 if you have questions about the study or you want  
5 to dialogue about it, to contact Marshall Hunt or  
6 myself at PG&E. We can provide you with some  
7 information. And we are working as fast as we  
8 can to get that information in a timely manner  
9 and intend to add it as an appendix to the final  
10 residential HVAC case report.

11           The report, as it stands now, does  
12 include information in support of this measure.  
13 And we do hope that you will take the time to  
14 read that as it stands now on  
15 [title24stakeholders.com](http://title24stakeholders.com) for download. But this  
16 should supplemental the case that we've already  
17 built in support of this number. So now you have  
18 your contact to continue after today on this  
19 topic.

20           MR. ROY: Aniruddh Roy, Goodman.

21           Jeff, thank you for your presentation. I  
22 have one question regarding the 350 CFM per ton,  
23 and that is was any consideration given to the  
24 rated capacity, accounting for the rated  
25 capacity, within the 350 CFM per ton instead of

1 how the current language, you know, kind of  
2 portrays it to be the nominal capacity?

3 MR. MILLER: Yeah. We received comment,  
4 I think last workshop, to that effect. And the  
5 compliance scenario becomes very complex if you  
6 go down that road. It requires, you know,  
7 getting rating documents and doing calculations  
8 based on rated values. It's not clear that there  
9 would really be a different outcome or a  
10 significant change in compliance requirements.

11 The complexity alone is, I think, a good  
12 reason not to go down that road. Yeah.

13 MR. ROY: Okay. I'll discuss those  
14 details with you offline --

15 MR. MILLER: Okay.

16 MR. ROY: -- after this meeting.

17 One other aspect regarding the 0.45, as  
18 everyone's spoken about here, including Mark, is,  
19 you know, the compliance date for the FER  
20 Standards is July 3rd, 2019 under DOE. And I  
21 think this building standard goes into effect  
22 01/01/2020; right? So that's about five months.  
23 And since we are looking at new construction, I  
24 guess, with the measure, you know, builders,  
25 typically they need like a 12-month lead time, at

1 least from manufacturers, when they're procuring  
2 products, 12 months or more.

3           So I kind of like the idea that Mark  
4 raised regarding linking it to the date of  
5 manufacture, which will give builders time to  
6 plan, our customers time to plan. Because the  
7 July 3rd and the 01/01/2020 date, that's just  
8 five months, so just something to consider, at  
9 least.

10           MR. NESBITT: George Nesbitt, HERS Rater.  
11 Just a couple things.

12           Since Mike brought up the issue of duct  
13 tightness on multifamily, if I remember right, in  
14 2016 single family went to 5 percent and  
15 multifamily went up to 11 percent; correct -- 12  
16 percent? Okay.

17           MR. MILLER: It remained at 12.

18           MR. NESBITT: High bidder. Sold.

19           MR. MILLER: It remained at 12.

20           MR. NESBITT: Twelve percent. I mean, it  
21 just happened. It made no sense. While we don't  
22 have a problem getting multifamily units below  
23 six percent, I'd still say is percent, at times,  
24 people are barely scraping by. And even in  
25 single family, where you have a larger duct

1 system, more connections, more ducts, getting to  
2 six percent can actually then be a little harder.  
3 But anyway, five percent, six percent, no  
4 problem.

5           Just to comment on blower door testing,  
6 so I have, just off the top of my head, and I  
7 double-checked, 80 unit project, 19 buildings, 80  
8 units, anything from 4-unit buildings to 8-unit  
9 buildings, every building achieved a 3 ACH 50 or  
10 slightly less. So -- and this was a project  
11 where we had a hard time getting the builder to  
12 understand that fiberglass stuffed in cavities  
13 was not an air barrier. Even though we did QII,  
14 I'm sure we failed miserably in actually getting  
15 it done properly.

16           MR. MILLER: Those are whole building  
17 tests?

18           MR. NESBITT: Those are unit by unit with  
19 an assumed connection.

20           But the point is, we're doing reasonably  
21 well on airtightness. I would agree, a lot of  
22 people probably don't get below two. And there's  
23 just not a lot of blower door testing in the HERS  
24 world.

25           So then the last thing is getting back to



1 the fan watt. That same project, I actually did  
2 the manual. Manual J and Manual D is on that  
3 project, so all ceiling air handlers, ducts  
4 either in dropped soffits or in attics, and  
5 anything from one-bedroom to four-bedroom units.  
6 They're hydronic on the heating side, so hot  
7 water, with an air conditioner. So the air  
8 handler actually has two different coils in it.  
9 The fan motors were all just the standard PCS  
10 motors, no ACM motors. One hundred percent was  
11 below 0.58. Only 14 percent of the units didn't  
12 get below 0.45. And then on the air flow side --  
13 so it was like 14 percent, I think, didn't get  
14 below the 0.45.

15           And the return grill, you know, which is  
16 mounted on the ceiling right below the air  
17 handler, the first company has two versions.  
18 They have one version with one filter grill, and  
19 what they call an indoor quality version which  
20 has two filter grills. Of course, we only had  
21 one filter grill. Thirty-two percent of the  
22 units did not meet the 350 CFM per ton threshold.  
23 And the correlation between those that didn't  
24 meet the 350 and those that didn't get below say  
25 0.45 is not -- does not line up. But -- so 0.45

1 is achievable with standard motors, but it all  
2 comes down to duct design and installation. And  
3 just because we have ACM motors, I can tell you,  
4 I've tested units, ACM motors, because they had  
5 oversized equipment, undersized ducting, not  
6 enough registers, wrong registers, they can  
7 barely meet or not meet the 350 CFM target.

8           So as we all know, I'm just stating what  
9 I think many of us have known for 15 years is  
10 it's not just technology, it's design and  
11 installation too. So 0.45, achievable, but it  
12 takes a little bit of intelligence.

13           MR. MILLER: Okay. Thanks for the  
14 comment, George.

15           MR. BOZORGCHAMI: Any more comments?

16           MR. MILLER: We have a comment online.

17           Laura, I'm going to un-mute you now. Go  
18 ahead and state your name and affiliation.

19           MS. PETRILLO-GROH: Yes. Hi. This is  
20 Laura Petrillo-Groh from the Air Conditioning,  
21 Heating and Refrigeration Institute.

22           I have a question regarding what I  
23 believe is a new proposal regarding the two-inch-  
24 minimum filter depth. And I did a brief check of  
25 the final case reports for indoor air quality and

1 residential HVAC. Thank you for posting those.  
2 So -- and I didn't see any reference to filter  
3 depths or, you know, rationale behind this  
4 proposal. Perhaps -- and it does appear that  
5 there are one-inch MERV 13 filters on the market.

6 Can someone in the room perhaps speak to,  
7 you know, where this proposal comes from, the  
8 justification behind it, a little bit more color  
9 to what seems a little arbitrary, when you also  
10 have the ratings and labeling requirements for  
11 filters?

12 MR. MILLER: So I think you're asking me,  
13 why did we specify two-inch depth filters. The  
14 purpose of that requirement is to make it  
15 possible to have a lower pressure drop using the  
16 same size filter that people are accustomed to  
17 using for one-inch filters. Reducing the  
18 pressure drop across the air filters is very  
19 important, and that's the reason.

20 MS. PETRILLO-GROH: Thanks. Perhaps it  
21 might be a little overly prescriptive. I'm just  
22 speculating that there may be some instances  
23 where a one-inch filter would be -- a one-inch  
24 deep filter would be required and there  
25 wouldn't -- there isn't, perhaps, a justification

1 for banning that application.

2 MR. MILLER: I'm unsure how to respond to  
3 your comment.

4 MS. PETRILLO-GROH: I'll make sure to  
5 include this in written comments. But I don't  
6 think that this two-inch deep requirement is  
7 necessary from a Building Standards perspective.  
8 You've already specified MERV 13. And it's up  
9 to, you know, the manufacturer and construction  
10 community to ensure that the proper filter is  
11 used for the appropriate system.

12 MR. STRAIT: So this is Peter Strait with  
13 the California Energy Commission.

14 I'll say, please just send -- we  
15 appreciate that feedback. If you could send that  
16 in to us? I know our concern in specifying a  
17 two-inch filter grill was to accommodate having a  
18 MERV 13 filter with a low pressure drop. If  
19 there's -- if there are filters that provide a  
20 MERV 13 benefit at a one-inch thickness with a  
21 low pressure drop, that would be good information  
22 to have, so thank you for that information.

23 MS. PETRILLO-GROH: Thanks, Peter. I'll  
24 include that in written comments.

25 MR. STRAIT: Thank you.

1           MR. WALKER: Good morning. Chris Walker  
2 on behalf of the California Association of Sheet  
3 Metal and Air Conditioning Contractors.

4           Just to follow up on that last comment,  
5 at the workshops, June-July time frame, you did  
6 hear some testimony from a residential HVAC  
7 contractor, Bob Tuck, that did talk about the  
8 concern about a two-inch slot. And has the  
9 Energy Commission looked at how many existing  
10 homes would actually have the space to  
11 accommodate a two-inch filter?

12           COURT REPORTER: Microphone, please.

13           MR. MILLER: What location on the system  
14 are you describing right now? Are you describing  
15 a filter grill in the ceiling or --

16           MR. WALKER: No.

17           MR. MILLER: -- a slot in a piece of  
18 equipment?

19           MR. WALKER: A slot in a piece of  
20 equipment.

21           MR. MILLER: So for that instance you  
22 would need to go to a filter grill, a return duct  
23 to a filter grill, to accommodate -- to  
24 accommodate the two-inch.

25           MR. WALKER: That's how --

1 MR. MILLER: Yes.

2 MR. WALKER: -- you would comply with  
3 that?

4 MR. MILLER: Uh-huh.

5 MR. WALKER: Okay. All right. Thank  
6 you.

7 MR. STRAIT: Yeah. Correct me if I'm  
8 wrong. These are -- the requirement is for  
9 ducted equipment. I think for -- like if you  
10 have a non-ducted mini split heat pump kind of an  
11 arrangement, those terminals aren't required to  
12 have a MERV 13 filter on those, if I remember  
13 correctly.

14 MR. MILLER: That's correct.

15 MR. STRAIT: Yeah. So thank you.

16 MR. BOZORGCHAMI: If there's no more  
17 comments, we're going to take a ten-minute break  
18 and we're going to upload some slides for the  
19 lighting measures for residential. We kind of  
20 missed those.

21 (Off the record at 10:39 a.m.)

22 (On the record at 10:51 a.m.)

23 MR. STRAIT: All right. If people could  
24 take their seats please. I know we jumped  
25 straight into Part N. We went a little bit out

1 of order because, obviously, there was a lot of  
2 public discussion there, and not at all because  
3 of a technical difficulty involving these two  
4 slides. But this is just going to be very quick.

5           We did make a significant number of  
6 changes to section 150.0(k), the mandatory  
7 requirements for residential lighting systems.  
8 This was like what we did in the nonresidential  
9 sections. This was partly a redraft for clarity  
10 to make this language easier to read and easier  
11 to understand. But at the same time we knew there  
12 were other elements that we had to address in the  
13 residential sections, so I'm just going to walk  
14 through those really quick, then open the floor  
15 for commentary.

16           So the first bullet, we redrafted the  
17 section language for clarity. We moved color  
18 temperature and dimming requirements from JA8 to  
19 section 150.0(k). Both now apply only to general  
20 lighting and habitable spaces, which means we  
21 were not concerned about the color temperature in  
22 bathrooms, walk-in closets, garages or utility  
23 rooms. We heard from people, for example, some  
24 wanted cooler temperatures in bathrooms, and some  
25 folks, obviously in a garage, may or may not care

1 specifically about having a warm color  
2 temperature.

3           The color temperature now is a uniform  
4 3,500k limit, rather than a split 3,000-4,000k  
5 limit. We'd like some commentary and some  
6 feedback on that. The split limit that we had  
7 for different types of lighting that was being  
8 installed just was more cumbersome than we'd  
9 intended. So we know there's a lot of 3,500k  
10 product. It's cool without being too cold, so we  
11 felt that was an appropriate place to have a  
12 single number.

13           We've added language to exclude low  
14 wattage nightlights, step lights and path lights  
15 from lighting requirements. The 5 watt  
16 limitation is really to make sure that this  
17 exclusion only applies to nightlights, step  
18 lights and path lights, and that there's not  
19 like, you know, 20 watts worth of lighting being  
20 cast over the floor called a night light. But  
21 this means that they don't have to comply with  
22 JA8. There's no confusion about whether they  
23 have control requirements that apply. If you  
24 have a set of stairs and you want to have them  
25 illuminated because it makes them easier to



1 navigate, we're not going to get in the way of  
2 that.

3           We allow occupant or vacancy sensors to  
4 provide auto off. This was -- the way our  
5 language was read seemed to preclude, like you  
6 could have certain types of automatic behaviors  
7 and not others. And similarly, with auto on,  
8 we're trying to get away from saying you can have  
9 this and you can't have that.

10           So an occupant sensor, to let people  
11 know, a vacancy sensor means it's automatic off  
12 but manual on. An occupant sensor could also  
13 provide an auto on function. And we've heard  
14 that this is often requested by people for their  
15 buildings. They would like to have auto on, for  
16 example, in bathroom where they might have --  
17 need to wash their hands before touching a light  
18 switch, just rooms with things.

19           We also added language in Table 150.0-A,  
20 excluding lighting internal to drawers, cabinetry  
21 or closets, other from walk-in closets, from  
22 needing to comply with JA8, provided that they  
23 have controls to automatically turn the lighting  
24 off when the drawer, cabinet or closet is closed.  
25 This was a former case that came up that we had

1 some questions about. Are we actually requiring  
2 JA8 in a two watt LED that's inside of a drawer  
3 that only comes on when the drawer is opened?

4 And the answer is, no.

5 So that's essentially it. There are  
6 additional changes we've made to JA8 that we'll  
7 talk about later when we go through the appendix  
8 language. But does anyone have any comments on  
9 the proposed changes for section 150(k)?

10 MR. SHIRAKH: I have one. Using an  
11 occupant sensor in the bathrooms, what was the  
12 basis? I mean, was there any public comments  
13 that were received to make that change?

14 MR. STRAIT: It was -- now outside of the  
15 rulemaking process, we've had several folks ask  
16 why we're prohibiting automatic on, and have had  
17 public -- this has been driven by builders  
18 calling our hotline, where they've had buyers  
19 once express an interest in having an automatic  
20 on function in spaces in the homes that they're  
21 building. This is for custom homes. But also in  
22 two cases I can think of, they were production  
23 builders. They wanted to have a set of automatic  
24 on controls in some areas, or to have controls at  
25 least offer an automatic on function. And the

1 question was: Are we intentionally banning  
2 automatic on controls in California, and do we  
3 have a strong enough basis for that?

4           So that's what this was driven by. This  
5 wasn't driven by, I think, comments on the record  
6 in this proceeding.

7           MR. SHIRAKH: I think we need to be  
8 careful about this, because when we originally  
9 came up with this idea, that was in 2005, it was  
10 based on research that many people would be  
11 unhappy with automatic on as pets, kids can walk  
12 around, you know, in the middle of the night and  
13 all the lights will start coming on. And the  
14 results would be, basically, the activation of  
15 those devices.

16           I don't know, Gary, if you have any --

17           MR. FLAMM: Gary Flamm. Just a  
18 historical perspective.

19           You can think of residential as operating  
20 off hours, that nonresidential doesn't. In  
21 nonresidential, you're in the space because  
22 you're fully dressed and you belong there, or you  
23 belong at home anyway. But if you get up in the  
24 middle of the night in your underwear and the  
25 lights -- and the shades are up, we felt that

1 there would be a persistence problem with lights  
2 being a nuisance that are coming on when the  
3 occupant didn't want them.

4

5 So I agree with Mazi that we should be very  
6 careful. There was a reason why we went vacancy  
7 sensor instead of occupancy sensor in homes,  
8 basically because of nuisance, turning on, so --

9 MR. STRAIT: Thank you.

10 MR. FLAMM: I have -- while I'm up here,  
11 I have a question about the nightlights. And I  
12 haven't read, I confess, I haven't read the  
13 language. Is there an assumption now that  
14 nightlights in residential are only outdoor step  
15 lights?

16 MR. STRAIT: No. Actually, this -- there  
17 was existing language for nightlights. And we  
18 were asked regarding step lights and outdoors,  
19 but also path and -- I'm trying to remember what  
20 the case was that came in through the hotline.  
21 The case that had come in was one of a senior --  
22 I don't think it was an assisted living building,  
23 but it was a senior citizen home that they wanted  
24 to illuminate the steps that were actually  
25 between the first and second floors, internal to

1 the building.

2 MR. FLAMM: Okay. Okay. So to add to  
3 that discussion, I've had discussion with a  
4 manufacturer who was concerned with meeting the  
5 JA8 requirements because nightlights typically  
6 have a louver on them, and so very little light  
7 actually gets out, very little functional light  
8 gets out. So I want to agree that there is a  
9 technical concern with nightlights meeting JA8,  
10 so --

11 MR. STRAIT: Okay.

12 MR. FLAMM: -- especially the efficacy.  
13 Okay.

14 MR. STRAIT: Thank you.

15 MR. BLUNK: Hi. This is Scott Blunk with  
16 SMUD. Thank you for your presentation. I just  
17 want to go on the record of support for occupancy  
18 sensors in certain circumstances. I've  
19 retrofitted many homes, and even in my personal  
20 home, like my walk-in closet, there's no window  
21 in there. I rarely go in that room and want to  
22 be in the dock. My dogs and cats rarely go in  
23 there to get dressed. There's almost never a  
24 time I'm standing in my master walk-in closet and  
25 don't want the lights on. I think it's a perfect

1 example. You can have a one-minute delay off  
2 because I rarely sit in there and meditate or do  
3 any other activity. I'm doing my business.

4           Similarly, I think for laundry rooms,  
5 another great example where there's rarely a  
6 window. I rarely go in there and don't want to  
7 see anything.

8           So I think in certain circumstances they  
9 make great sense. And I'm less concerned about  
10 the dogs and cats. Thanks.

11           MR. STRAIT: Thank you. And thank you  
12 for that commentary. We can certainly look at is  
13 there an appropriate box to draw on them so  
14 they're not everywhere, but there are important  
15 cases.

16           Laundry room actually reminds me that  
17 there was an example were given before of, you  
18 know, somebody walking in with all their hands  
19 full because they're carrying the laundry basket  
20 and having to hit the light switch, so --

21           MR. STONE: Nehemiah Stone, Stone Energy.

22           I haven't taken a look at your new  
23 definitions. If path light is not defined in  
24 your definitions, you might want to do that or  
25 add a clarification to that section that this is

1 not included exit signs.

2 MR. NESBITT: George Nesbitt, HERS Rater.

3 First on the occupancy, personally, I  
4 have no interest in occupancy sensors.  
5 Personally, I'm not even going to install any  
6 manual on sensors in my house either. But, you  
7 know, so I have learned to turn lights on and  
8 off. And there are times, yes, that even any  
9 room that may not have a window, I may not want  
10 to have the light on, just because I walked in.  
11 And the problem with lights that go on  
12 automatically or the manual on/automatic off is  
13 you don't then turn it off. And if it's set to  
14 run for 30 minutes or an hour or two hours,  
15 that's a heck of lot more time than it ever  
16 needed to run.

17 So on the one hand, I mean, the reality  
18 is people will do whatever the heck they want.  
19 They'll put in the occupancy sensor, even if it  
20 violates the code. If that's what they want,  
21 that's what they will do.

22 So on the one hand, maybe we don't want  
23 to outright ban them in all situations, but I'm  
24 not sure if occupancy sensors are really a good  
25 idea in most.

1           And then on the dimmer switch, so what  
2 you're saying is a dimmer switch would be  
3 required everywhere, with the exception of like  
4 bathrooms, utility rooms and garages, or  
5 something like that, essentially living rooms,  
6 dining rooms, kitchens, bedrooms --

7           MR. STRAIT:   Yes.

8           MR. NESBITT:  -- and whatnot?

9           MR. STRAIT:  And that's -- 2016's  
10 language required dimming on all lighting that  
11 had to comply with JA8 or had a much more broad  
12 application.  So we're trying to say is it  
13 appropriate to require a dimmer in each and every  
14 space that some of that light might be in?

15           MR. NESBITT:  I don't think we should  
16 require dimmers everywhere.  I mean, not every  
17 light needs dimming.  And there are other  
18 solutions and it requires bulbs that are  
19 dimmable.  And especially with the replacement  
20 bulbs, screw-in bulbs, not every bulb is  
21 dimmable.  You know, there's dimmable, there non-  
22 dimmable.  And, you know, so it's -- dimming is  
23 not something I personally use, or it would be  
24 very rare.  It should be more of a choice.

25           And then color temperature, quite



1 frankly, I don't think we have any business  
2 telling people what color their light should be.  
3 Lately I discussed Phillips has a bulb that has  
4 three color temperatures. I mean, you know,  
5 obviously different (indiscernible) outputs and  
6 different wattages. It does not work on a dimmer  
7 switch, but it's a great technology. And, I mean,  
8 I understand, I know, you know, I've heard, you  
9 know, the whole thing, color temperature and, you  
10 know, rhythms and all the other stuff. I  
11 understand that.

12           But I like brighter. I like the brighter  
13 temperatures most of the time. And I've been  
14 using them, and I have it, like especially in  
15 bedrooms and whatnot, set on the low light as my  
16 default so that, especially when it's dark and I  
17 go in and turn on the light, I don't get blasted  
18 when I don't want to be, so -- or if I'm not  
19 doing tasks.

20           So think that, you know, to give a color  
21 temperature and not allow people -- or to  
22 eliminate potential technologies that can meet  
23 people's needs as they want is not -- I mean, I'm  
24 going to ignore that, I mean, personally. I  
25 mean, you know, so there are -- you know, so I

1 just don't think it's appropriate. Most people do  
2 not like the high color temperatures, but I just  
3 don't think we should restrict them.

4 MR. MCHUGH: Hello. This is John McHugh  
5 from McHugh Energy.

6 In the last code cycle the residential  
7 lighting measure, I believe, was the largest  
8 single measure, at least for residential. It was  
9 around 70 gigawatt hours. So there's a lot of  
10 effort that went into the design of the changes  
11 in 2016. And I think, you know, this is all new  
12 to me, so I haven't heard about other -- you  
13 know, any other part of the pre-rulemaking that  
14 described this.

15 So, you know, we're looking at it  
16 carefully and trying to figure out, you know,  
17 what are sort of the unintended consequences, as  
18 well as the intended consequences. So I thought  
19 I'd just share a little bit of my thoughts on  
20 some of the things that are in here.

21 The first thing is, is that the 2016  
22 Standards was really sort of qualitatively  
23 different in terms of how we've regulated  
24 residential lighting where rather than  
25 essentially trying to force people into dedicated

1 fixtures with, you know, hard-wired ballast and  
2 that sort of thing, the idea was actually to  
3 provide a better product and trust that, in most  
4 cases, people would want that better product.  
5 And that really was the basis of the whole JA8  
6 standard.

7           And the other thing was simplicity. And  
8 so the idea was is that many were aware there was  
9 a removable lamp at the time of inspection, so,  
10 you know, because we're trusting the people, you  
11 know, people can decide what they want to do.  
12 They can put an incandescent in there if they  
13 want to later on. But at the time of inspection  
14 the limitation on the builder, rather than the  
15 occupant, was that at time of inspection that  
16 you'd have these JA8 lamps that are labeled. It  
17 would be easy to enforce. You don't have to  
18 think about, oh, is this is an inhabitable space,  
19 an uninhabitable space? What is my, you know,  
20 what is my bonus room? Is that inhabitable or  
21 not? You know, what is the definition of  
22 inhabitable? So it was a single, unitary  
23 requirement for any sort of removable lamp.

24           The other thing was, was that -- was the  
25 idea of color temperature. And part of why JA8

1 has that warmer color temperature is sort of this  
2 logic model. Some people like colder lamps, as  
3 we heard from George. Some people like warmer  
4 lamps. If I put in a warm high-efficacy lamp,  
5 they're likely going to keep that warm high-  
6 efficacy lamp in there, you know, as you're  
7 staring, if they like that. If people like  
8 cooler color temperatures, if I start out with a  
9 warm high-efficacy lamp, they really don't  
10 actually have a choice of putting in a cool color  
11 temperature or a high color temperature low-  
12 efficacy lamp because all the high color  
13 temperature sources are high efficacy, you know,  
14 because tungsten melts. As a result, you can't  
15 buy a 4,000k incandescent.

16           So that was the logic model behind it.  
17 It was, you know, very carefully, you know,  
18 developed. And so, you know, in reviewing this,  
19 I think it makes sense to, you know, take a look  
20 at those case reports and the rationale behind  
21 this.

22           And then for the drawers and that sort of  
23 thing, I actually didn't see that there was any  
24 requirement for those light sources. So  
25 theoretically, you could be putting the little

1 peanut lamps in there, which are incandescent, in  
2 drawers, just as long as they have a little light  
3 switch on it.

4           So, you know, those are just initial  
5 thoughts. But, you know, we'll be more carefully  
6 taking a look at it.

7           Thank you.

8           MR. STRAIT: Thank you. To provide some  
9 clarification, the reason that we moved the color  
10 temperature and dimming requirements out of JA8  
11 and into 150(k) was so that we could continue to  
12 label all lamps with that, with the marking that  
13 the inspector is going to look for.

14           Color temperature, again, we're not  
15 removing the color temperature limit, we're just  
16 -- instead of having a split limit on the bracket  
17 is 3,500k, we're having a single limit that's  
18 3,500k, so we're not proposing that goes away.  
19 We are saying that we probably don't need to  
20 specify a color temperature in certain spaces  
21 because we've received a lot of criticism for  
22 saying, yes, you have to have warm lighting in  
23 your garage. And also keep in mind, this does  
24 apply just to lamps. It applies to permanently  
25 installed fixtures that are not so easily changed

1 by the occupant once they move in.

2           So that's our -- where we're at for how  
3 these were developed.

4           MR. MCHUGH: So am I hearing it right,  
5 though, there still is multiple color  
6 temperatures in the house potentially; right?  
7 And is that correct?

8           MR. STRAIT: Correct.

9           MR. MCHUGH: Yeah. So there's 3,500k,  
10 but for the inhabitable spaces. And the thought  
11 is, is that people will -- see this goes back to  
12 that earlier issue, talking about the rationale,  
13 which is if the builder puts in cold color  
14 temperature lamps in these other spaces, then for  
15 people who like warm color temperatures, now  
16 there's a decision point of, okay, I actually  
17 want warm. I want it to match my other lamps  
18 which are required in those other spaces and I  
19 don't want to -- you know, it's sort of more  
20 reddish, and then I walk into a more bluish room.  
21 They actually -- in terms of that logic model,  
22 there is that opportunity now that all those cold  
23 color temperature spaces end up being  
24 incandescent or using some sort of warmer color  
25 temperature source. That's just the rationale.

1 Thank you.

2 MR. STRAIT: Thank you.

3 MR. FLAMM: Gary Flamm.

4 At the time the Energy Commission adopted  
5 colder temperature, it was an appropriate thing  
6 to do because the baseline lamp was an  
7 incandescent at 2,700k. And at that time, very  
8 early in the LED development, most LEDs were in  
9 the 5,000k range. And there was concern that the  
10 LED would enter the market with only 5,000k  
11 lamps. And florescent lamps were, you know,  
12 3,500 to 4,000k.

13 So to incent the industry, the LED  
14 industry, to bring warmer lamps, I believe it was  
15 appropriate at that time to have a warmer lamp in  
16 the code. And now that the LED industry is much  
17 more mature, there are, indeed, many warm lamps  
18 available.

19 And so my recommendation at this point is  
20 that I don't believe the code needs to say  
21 anything about color temperature anymore because  
22 the market has already been transformed. Warm  
23 light, warm high-efficacy lamps are readily  
24 available. And so the code served its purpose,  
25 earlier versions of the code.

1           I think that what's being recommended now  
2 is overly restrictive, that it really, you know,  
3 limits customer choices, specifically for  
4 outdoor. I don't think there -- if the Energy  
5 Commission does -- wants to continue indoor color  
6 temperature, I don't think there should be any  
7 color temperature for outdoors.

8           MR. STRAIT: Yeah. This proposal is to  
9 only specify color temperature in the indoor  
10 habitable spaces, so outdoor lighting would not  
11 be subject to color temperature req.

12           MR. FLAMM: Okay. Thank you.

13           MR. STRAIT: Do we have any comments  
14 online? All right.

15           Thank you very much for all of your  
16 comments.

17           MR. BOZORGCHAMI: Should we move on to  
18 the afternoon measures now, the 150.1s? I see a  
19 couple of people nodding their heads.

20           I'm going to take a quick, like a two-  
21 minute break, to get Danny readjusted, and  
22 probably do that. And maybe we might have to  
23 take a little bit later lunch. Instead of  
24 scheduled at 12:00 to one, we might have to go  
25 12:30 to 1:30, if that's okay? Any objections?



1 Okay. We'll take a two-minute break real quick  
2 and have an adjustment.

3 (Off the record at 11:14 a.m.)

4 (On the record at 11:17 a.m.)

5 MR. BOZORGCHAMI: Okay. So we're doing  
6 the performance and the prescriptive requirements  
7 for low-rise residential building, 150.1. Danny  
8 Tam is going to lead this. I'll be presenting  
9 changes to 150.1.

10 First, in 151.(b), the Performance  
11 Standards, the whole section was revised for  
12 clarity. The biggest change was that we change  
13 the energy budget to be expressed in terms of  
14 EDR, or energy design rating, which is still  
15 based on TDV energy. So there's three main  
16 components of EDR. There's the energy efficient  
17 EDR component, there's the solar-electric  
18 generation and demand flexibility component, and  
19 then finally you have the total EDR. So the  
20 energy efficiency EDR comes from the energy  
21 efficiency features of the house. And the second  
22 component comes from the benefit from the PV's  
23 generation and any battery storage or demand  
24 response benefits, and then they combine at the  
25 total EDR.

1           So in order for the house to comply for  
2 Title 24, they need to meet both the energy  
3 efficiency EDR and the total EDR. And at this  
4 point we going to keep EDR just only for newly  
5 constructed buildings. So for additional and  
6 alteration, it's going to be continuing using TDV  
7 energy.

8           Okay, moving on to the prescriptive  
9 standards, 150.1(c)1A, we're proposing to delete  
10 the high performance attic Option A, which is the  
11 above-duct insulation. And if you want to  
12 continue to use the option, you can always go  
13 performance. And then in (c)1B insulation, this  
14 section was edited for clarity, basically easier  
15 to read. We separate the language for frame,  
16 unframed and mass walls.

17           Okay, there's some new language for  
18 quality insulation installation, or QII. So  
19 we're proposing to have QII as a new prescriptive  
20 requirement; (c)3A fenestration, we're adding  
21 glazed walls to this sections -- I mean glazed  
22 doors to this section. So glazed doors will have  
23 meet the same U-factor and SHGC (phonetic)  
24 requirement in this section.

25           Just a note, we also changed the

1 definition for glazed walls, so it changed from  
2 50 percent to 25 percent glazed area.

3 MR. BOZORGCHAMI: So Danny means glazed  
4 doors. We changed the definition to match the  
5 NFRC. NFRC says any door systems greater than 25  
6 percent glass is a window or a fenestration  
7 product.

8 MR. TAM: Thanks. Okay, (c)5 is a new  
9 section for doors, so there's a new U-factor  
10 requirement for doors that separate conditioned  
11 space and outdoor conditioned or unconditioned  
12 space. There is an acceptance for doors that's  
13 required for fire protection.

14 Okay, moving to refrigerant charge,  
15 there's some new language added for small- to  
16 high-velocity systems, so there's some new  
17 airflow targets which is, at minimum, 250 CFM per  
18 ton for these system.

19 Okay, moving on to water heating, (c)8A  
20 is water heating systems serving single-dwelling  
21 units. So we're proposing to delete Option (i)I  
22 (phonetic) for gas storage below 55 gallons.  
23 Currently that option requires QII. And since  
24 QII is becoming a prescriptive requirement, this  
25 option becomes obsolete, so we're proposing to

1 delete that. You can always, again, go to  
2 performance is you want to use a gas source under  
3 55.

4           And then for the option for gas storage  
5 above 55 gallons, we're proposing to add the  
6 drain water heat recovery as an option.  
7 Currently you can use that water heat, plus a  
8 compact hot water distribution or a verified pipe  
9 insulation. So this is an additional option in  
10 addition to those two.

11           So we're proposing to add a new option  
12 for electric water heaters above 55 gallons,  
13 which is essentially a heat-pump water heater.  
14 So you have to have additional PV on top of the  
15 prescriptive PV requirement in (c)14. So for  
16 Climate Zone 2 to 15, you need an additional 0.3  
17 kilowatt, and for Climate Zone 1 and 16, you need  
18 an additional 1.1 kilowatt. So we added two  
19 exceptions for this option. So if you install a  
20 heat pump water heater that meets the new  
21 advanced water heater specific Tier 3 or better  
22 in Climate Zone 2 to 15, you'll meet the  
23 prescriptive requirement for water heating. And  
24 for Climate Zone 1 and 16, in addition to the new  
25 Tier 3, you need to have the additional 0.3

1 kilowatt of PV.

2           Okay, moving on to water heating system  
3 serving multiple dwelling units or central  
4 systems, we're adding a new prescriptive option  
5 for drain water heat recovery system that allows  
6 you have reduced solar fraction requirement. So  
7 currently it requires a solar fraction of 0.2  
8 from Climate Zones 1 to 9, and 0.35, 10 to 16.  
9 So if you have a water heating system installed  
10 you can reduce the solar fraction requirement to  
11 0.15 in Climate Zones 1 to 9, and 0.3 in 10 to  
12 16. And when you have one of these installed it  
13 has to at least meet a minimum of 42 percent  
14 effectiveness and have to recover heat from at  
15 least half the shower above the first floor.

16           Okay, (c)14 is a new section. It  
17 describes the photovoltaic requirement for low-  
18 rise residential buildings, so this applies for  
19 newly constructed buildings. This requirement  
20 does not apply to addition and alteration. So  
21 the intent is for the photovoltaic system to  
22 equal the dwellings annual electricity usage. So  
23 there's a number of exceptions to this  
24 requirement. So there is an exception for  
25 limited roof space due to obstruction if it's

1 less than 80 continuous square feet. That would  
2 requirement at Climate Zone 15, reduce  
3 requirement for three story or above single-  
4 family spaces. There's some accommodations for  
5 plans that were approved prior to implementation  
6 date of January 1st, 2020. Also reduce the PV  
7 size if you have a battery storage system. And  
8 finally there's some exception for development  
9 connected to constraining local utility grid.  
10 Okay.

11           We also made a slight change in the  
12 footnotes on Table 150.1(a) and (b). Mass wall  
13 used to expressed in terms of heat capacity.  
14 We're changing that to density. So mass wall now  
15 has a density greater than 45 pounds per cubic  
16 feet.

17           Okay, so that's the changes in 151. Now  
18 we're open for comments.

19           UNIDENTIFIED MALE: Whoever gets here  
20 first.

21           MR. STONE: Age always wins. So Tehemiah  
22 Stone, Stone Energy.

23           First off, I can't tell you how happy I  
24 am to see that you've addressed multi-family  
25 separately from single-family in a lot of these

1 things and have a table. I'm really pleased.

2 Thank you very much.

3 MR. SHIRAKH: We had you in mind when we  
4 were doing it.

5 MR. STONE: Yeah. I'll bet you probably  
6 did. You got tired of me complaining.

7 I have a number of comments on the solar  
8 part. I made a comment once before about the  
9 exception being restricted to single-family and  
10 asked why that exception was limited to single-  
11 family, and I didn't see a change here. So if  
12 you can explain to me, I'd appreciate it. Do you  
13 want me to tell which exception I'm talking  
14 about?

15 MR. TAM: Yeah.

16 MR. STONE: That would help, wouldn't it?  
17 All right.

18 So it's Exception 1 to Section  
19 150.1(c)14, "within any available solar-ready  
20 zone that's restricted to less than 80" -- oh, is  
21 that -- I'm sorry, that's the wrong one, it's the  
22 next one.

23 Exception 3 to 150.1(c)14, "In all  
24 climate zones for single-family homes or three  
25 story the PV size shall be the smaller of" --

1 yada, yada, yada.

2           So there's -- I don't -- I didn't see any  
3 reason why that should be restricted to single-  
4 family. And I asked the question, both at the  
5 podium and in written comments. And I'm  
6 wondering if, since it didn't change, if you came  
7 up with a reason?

8           MR. SHIRAKH: We could potentially extend  
9 it to multifamily.

10          MR. STONE: I'm sorry?

11          MR. SHIRAKH: We could probably put --  
12 extend it to multifamily. Is that what your  
13 comment is?

14          MR. STONE: Yes.

15          MR. SHIRAKH: Yeah.

16          MR. STONE: Yeah. And, you know, since  
17 it didn't change, I thought maybe there was a  
18 reason that you had that it didn't change.

19                On the first exception there, I'm  
20 wondering if you've considered the potential  
21 unintended consequence of builders -- let me read  
22 the exception, so you know what I'm talking  
23 about.

24                "Within any available solar-ready zone that's  
25                restricted to less than 80 contiguous square



1 feet by existing permit or natural or manmade  
2 barriers external to the dwelling, including  
3 but not limited to trees, hills, adjacent  
4 structures."

5 I'm wondering if you've considered the  
6 unintended possible consequence of builders  
7 sequentially building out of subdivisions so that  
8 each building they build allows them to take  
9 advantage of this exception on the next building,  
10 rather than planning the subdivision in a smarter  
11 way where they could have solar, the adequate  
12 amount of solar, throughout.

13 MR. SHIRAKH: Well, these are conditions  
14 that are exterior to the building --

15 MR. STONE: Right.

16 MR. SHIRAKH: -- and it's not under --

17 MR. STONE: Right.

18 MR. SHIRAKH: -- the building's --

19 MR. STONE: Well --

20 MR. SHIRAKH: -- the builders control --

21 MR. STONE: Right.

22 MR. SHIRAKH: -- when there's like  
23 existing --

24 MR. STONE: Well, it doesn't say --

25 MR. SHIRAKH: -- buildings.

1           MR. STONE:  -- not under the building's  
2 control, Mazi.

3           MR. SHIRAKH:  Well, you know, I mean,  
4 what is it?  I need to look at what it's talking  
5 about.  I mean, problems that are external to the  
6 building.

7           MR. STONE:  Right.

8           MR. SHIRAKH:  And so presumably a builder  
9 has no control over those.  It is an existing  
10 building or there's existing trees.

11          MR. STONE:  No, I understand, Mazi.  So  
12 what I'm saying is as soon as a builder builds a  
13 building, it's an existing building.  Then he  
14 goes to build the one next to it and he says, oh,  
15 well, I've got this exception.  I don't have to  
16 put as much solar on this because that building I  
17 just built that's now existing shades this one.

18          MR. SHIRAKH:  No, they don't generally do  
19 one building at a time.  There's a master plan.  
20 I mean, they're -- I mean, I --

21          MR. STONE:  What you're telling me is you  
22 did consider it.  That's all I'm asking --

23          MR. SHIRAKH:  Yeah.

24          MR. STONE:  -- if you considered that  
25 potential --

1 MR. SHIRAKH: Yes.

2 MR. STONE: -- consequence. All right.

3 Also, Mazi, when you and I talked before  
4 about the storage requirement, you know, you  
5 assured me that the storage was not going to be  
6 just limited to battery storage, but that thermal  
7 storage was going to be weighted equally, it had  
8 equal weight in the code. And then there's this  
9 Exception 5 to the section that says PV -

10 "PV sizes from equation 150.1(c) can be  
11 reduced by 25 percent if installed in  
12 conjunction with at least an AKWH battery  
13 storage system."

14 If the design of the building is such  
15 that they're making use of hot and cold water  
16 storage to be able to avoid on-peak system  
17 operation, why would that not allow you the same  
18 exception?

19 MR. SHIRAKH: So let me correct one thing  
20 that you said. I promised --

21 MR. STONE: Okay.

22 MR. SHIRAKH: -- I would look into it. I  
23 never promised it would be exactly equal. If I  
24 said that, then that means that I don't know what  
25 I'm talking about because each one of them has

1 different -- it's all driven by cost  
2 effectiveness and TVD and so forth.

3 MR. STONE: Right.

4 MR. SHIRAKH: And within the software, I  
5 think our team has accurately implemented credits  
6 for thermal storage. It just turns out that  
7 battery storage is incredibly effective when it  
8 comes to load shifting the TVD benefits far  
9 surpasses thermal storage at this point.

10 But if a builder wants to do that, they  
11 can use performance and they can actually put in  
12 a heat pump water heater with a capability to  
13 super heat it to 160 degrees and get a credit,  
14 and they can downsize the PV that way. It's all  
15 driven by the value that each strategy brings to  
16 the table and gets the corresponding credit for  
17 it.

18 MR. STONE: One last thing, a very minor  
19 thing on this section. I notice that in one  
20 place in this section you deleted "multi-family"  
21 and replaced it with "multifamily." I'd like to  
22 see consistency throughout it. And the --

23 MR. SHIRAKH: Yeah. That should read  
24 with a dash, a dash.

25 MR. STONE: No. The industry typically

1 does not do it with a dash. The federal  
2 government does and a lot of other folks do.  
3 But, you know, consistency and -- you know, it  
4 doesn't matter that much which way you go, but  
5 I'd recommend that you just eliminate the dash.  
6 As I said, it's a minor issue.

7 Thank you.

8 MR. SHIRAKH: Thank you, Tehemiah.

9 MR. ALATORRE: We can handle that  
10 proposal.

11 MR. BLUNK: Hi. Scott Blunk of SMUD.

12 Thanks, Danny, for your presentation.

13 I am in favor of no dash in multifamily,  
14 just to go on the record for that, but I've been  
15 advocating that for years, just to get us all  
16 consistent.

17 MR. SHIRAKH: Are there any pro-dash  
18 people here?

19 MR. BLUNK: All right. So to get to my  
20 comments, in 150.1(b)1, it talks about newly  
21 constructed buildings and how the energy budget  
22 is created and such. And this is more of a call  
23 to attention to others listening, but the battery  
24 storage is in discussion to be used as an energy  
25 efficiency credit in 2019. And I'm not -- I

1 haven't figured out whether I'm for or against  
2 that yet, but that's in discussion. And I think  
3 Mazi can speak to it, but there's a meeting next  
4 Friday where it will be discussed further. But I  
5 think that's kind of an important topic for us to  
6 be aware of.

7           Moving on to Section 150.1(b)4V, or five,  
8 it talks about -- it's talking about heating  
9 systems, but the title of it is Heat Pump Rated  
10 Heating Capacity, and then it says how to check  
11 verification. But to talk about it as a heat  
12 pump rated heating capacity, it's a space heating  
13 heat pump as opposed to -- I assume this verify  
14 requirement does not apply to heat pump water  
15 heaters or heat pump dryers for that example. So  
16 just the language around it, it's talking about  
17 space heating, but it's talking about a  
18 technology heat pumps. So that would be great to  
19 just clarify that.

20           So in Section 150.1-8A(iii) (phonetic),  
21 Exception 1, if I got that right, and in your  
22 presentation you even said it's basically that  
23 this piece is for heat pump water heaters, and I  
24 appreciate adding those in. But instead of  
25 making heat pump the exception, and it's just an

1 optics, but can we make heat pumps the standard  
2 in that and make electric resistance and the more  
3 onerous requirements of electric resistance the  
4 exception? It's just an optics change. But as  
5 you said, this piece of it is actually for heat  
6 pumps. So instead of making an exception, that  
7 would be great.

8           And then right below that in B, so 150.1,  
9 Section 8, I think it's (b)1, it says, and this  
10 is about water heating again, "gas or propane  
11 water heaters, boilers or other water heating  
12 equipment." It seems like you basically said  
13 gas, propane, water heaters or everything else.  
14 Why can't we just say everything else, or just  
15 get rid of the section and say water heating?  
16 Because you basically called out every possible  
17 type of way to call -- to heat water, but  
18 specifically mentioned gas, propane, and then  
19 everything else. So just a tightening of the  
20 language.

21           And then in Table 150.1-A, component  
22 package for single-family, and this also applies  
23 to multifamily, the refrigerant charge  
24 verification is under space conditioning -- or  
25 space cooling, excuse me. And as we move to more

1 heat pumps it would be great that that  
2 requirement extend to heat pumps, and so maybe it  
3 moves out of cooling and just to some -- to  
4 change it around, or maybe there's an absolutely  
5 separate requirement per climate zone on  
6 refrigerant charge for heat pumps, but it would  
7 be nice to have that called out, as well.

8           And that's it. Thanks.

9           MR. PENNINGTON: Thank you.

10          MR. NESBITT: George Nesbitt, HERS Rater.

11          Actually, to tag on Scott's last sort of  
12 comment on the refrigerant charge, so, I mean, a  
13 heat pump does both heating and cooling. But I  
14 think perhaps what needs to be made clear is that  
15 if you are installing a heating -- a heat pump  
16 space conditioning system, that it requires  
17 refrigerant charge check because it has cooling.  
18 It just -- because I'm sure, like so many other  
19 things, I mean, people are putting in heat pumps  
20 in the Bay Area. And is anybody doing  
21 refrigerant charge? No, even though they're  
22 putting in air conditioning. So I think that  
23 would be, you know, maybe explicitly say cooling  
24 system and/or heat pump, because the heat pump --

25          MR. MILLER: It's in the standards



1 specification. It's explicit that it applies to  
2 heat pumps.

3 This is Jeff Miller.

4 MR. NESBITT: In the standards where?

5 MR. ALATORRE: 150.1(c)7. So the table  
6 says Space Cooling, and that's the title of  
7 150.1(c)7, it's called Space Heating and Space  
8 Cooling. It specifically calls out air-cooled  
9 air conditions and air source heat pumps as  
10 requiring refrigerant charge.

11 MR. NESBITT: Okay. Then maybe it's to  
12 just be consistent --

13 MR. ALATORRE: We can clarify --

14 MR. NESBITT: -- with --

15 MR. ALATORRE: -- the table to be more --

16 MR. NESBITT: Yeah, that --

17 MR. ALATORRE: -- and to clarify the  
18 label of this section, perhaps.

19 MR. NESBITT: Are we covering all of  
20 150.1, or are you going to present more on some  
21 other areas, or are you --

22 MR. ALATORRE: Good thing you brought  
23 that up. I noticed that on the agenda we have --

24 MR. NESBITT: Because the --

25 MR. ALATORRE: -- two sections that

1 weren't presented yet.

2 MR. NESBITT: Things have been mixed  
3 around a little and, I mean, just --

4 MR. ALATORRE: We don't have slides for  
5 it. I was just going to mention it. I could do  
6 it now, if you want, and then you can comment on  
7 it, or after we take comments on what's been  
8 presented, I could speak to it.

9 MR. NESBITT: Yeah. I can just comment  
10 on what's out there now if --

11 MR. ALATORRE: Okay.

12 MR. NESBITT: -- just -- there's not a  
13 lot in this section.

14 But one thing that jumped out on me was  
15 the electric water heater section. And I believe  
16 currently code says you can -- the prescriptive  
17 requirement is a gas water heater, although we  
18 allow you to put in an electric water heater.  
19 But I think currently it's only if it's in  
20 conditioned space and has a solar fraction of a  
21 certain amount. So I'm not seeing that if you  
22 install an electric resistant water heater that  
23 it would have to be in conditioned space,  
24 although what you are saying is if you install an  
25 electric water heater -- and, actually, the

1 language is not necessarily clear in this sense,  
2 because a heat pump is an electric water  
3 heater -- but what you're saying is you need to  
4 add PV.

5           So the question would be, should an  
6 electric resistant water heater have to be in  
7 conditioned space? And you may want to clarify  
8 that that's an electric resistant water heater  
9 versus the heat pump because then the heat pump  
10 does not require the added PV; correct?

11           MR. TAM: An electric water heater above  
12 55 gallons is essentially a heat pump water  
13 heater because of the federal standard. I mean,  
14 that's why we word it that way.

15           And just to add, currently we don't have  
16 a prescriptive package for electric water heater.  
17 You might have to refer -- be referring to  
18 previous code, but 2016, we don't have the option  
19 for heat -- electric water heater.

20           MR. NESBITT: Okay. So you can buy 80-  
21 gallon electric water heaters that are electric  
22 resistant.

23           MR. TAM: That would be commercial.

24           MR. NESBITT: They're often called solar  
25 storage tanks, but -- so now you've got me

1 completely confused, but -- and that's --

2 MR. PENNINGTON: So we can look at it,  
3 George.

4 MR. NESBITT: Yeah. The other thing I  
5 want to talk about right now is the EDR. So you  
6 said EDR is not going to apply to additions and  
7 alterations, if I read and heard right. Why not?  
8 Because may I remind you, Public Resource -- I'm  
9 not even going to try to remember what section --  
10 a long time ago, back in the '90s, directed the  
11 Energy Commission to come up with a rating system  
12 for both new and existing homes. And in 2008,  
13 under Title 20, we revised the HERS Regulations  
14 and created the HERS Rating System, which applied  
15 or applies or applied to new homes, as well as  
16 additions -- existing homes, as well as additions  
17 and alterations.

18 So my -- let me finish my -- so my point  
19 is you're required to have a rating system. We  
20 have a rating system that allows us to do that,  
21 yet in all the iterations of the energy design  
22 rating and the CAP score in the multifamily  
23 program and whatnot is you've created a HERS  
24 Rating System. It's a HERS score. It's a HERS  
25 scale, 0 to 100. You've changed the baseline to

1 meet resonant. But, of course, A, you're not  
2 requiring a HERS Rater to actually to it, even  
3 though it's required under Title 20.

4 But the point is you're not building in  
5 the functionality you really need to implement  
6 the law that requires you to have a single rating  
7 system.

8 MR. PENNINGTON: So, George, I don't want  
9 to debate, you know, the full scope of your  
10 comment there. Similar to what Mazi said  
11 earlier, we're not here to debate with you, but  
12 just to explain where we're at, why we're at  
13 where we're at.

14 The goal for ZNE was always for newly-  
15 constructed homes by 2020, and that's what we're  
16 working mightily to accomplish within  
17 constraints, obviously. And, you know, we want  
18 to work through all of the issues of  
19 accomplishing that and doing it well, and  
20 understanding maybe unintended consequences and  
21 dealing with them and, you know, fully focused on  
22 that, accomplishing that goal. We think it's  
23 much more complex to try to achieve something  
24 like a ZNE goal in existing construction,  
25 particularly through the Building Code where

1 you're only dealing with part of the building,  
2 often with an addition or an alteration.

3           Likewise, we have a fairly popular  
4 compliance option which is existing plus  
5 additions plus alterations. That is a quite  
6 complex situation. And trying to create an EDR  
7 that kind of makes sense for situations where we  
8 would be combining different pieces of buildings  
9 or establishing an EDR for a part of a building  
10 only seems like a quite complex problem and  
11 something that we think we need to take time to  
12 focus in on that by itself.

13           So quite possibly in future rounds of the  
14 Standards we would look for extending the idea of  
15 an EDR in a Building Code context to parts of  
16 buildings. We don't want to have such a  
17 difficult challenging question to be potentially  
18 disruptive of our accomplish our overall goal of  
19 getting to ZNE for newly-constructed low-rise  
20 residential buildings.

21           So that's where we're at. We don't know  
22 exactly what we'll do in future rounds, but we  
23 don't see that within the scope of these  
24 standards.

25           MR. SHIRAKH: I'm going to ask Ken

1 Nittler one question.

2           The software currently calculates EDR for  
3 new construction and uses the 2006 IACC. Can it  
4 also calculate the EDR if you go to additions and  
5 alterations?

6           UNIDENTIFIED MALE: (Off mike.) Right  
7 now the answer is, no.

8           MR. NESBITT: But, I mean, they --  
9 calculating additions and alterations is more  
10 complex than a new house, and it has been, but  
11 that's been in the software forever. And in the  
12 Title 20 HERS software we have it for existing  
13 homes and additions and alterations. It's all --  
14 it's -- EDR is just math with TVD based on  
15 standard, budget and proposed design. So it's  
16 just really -- I mean, the hard work of  
17 calculating existing and --

18           MR. SHIRAKH: I think the answer is here,  
19 you know --

20           MR. NESBITT: Pardon me.

21           MR. SHIRAKH: -- we've got to do what we  
22 have to do first which is, you know, get ZNE and  
23 all that --

24           MR. NESBITT: Yeah.

25           MR. SHIRAKH: -- squared away for --

1 MR. NESBITT: Yeah.

2 MR. SHIRAKH: -- new buildings. And  
3 then, you know, we can talk about existing  
4 buildings.

5 MR. NESBITT: I just remember when we  
6 started the whole public domain compliance  
7 software issue, I think at the first meeting I  
8 said, "Well, we're going to have to address all  
9 the HERS things." And I was told, oh, no, we  
10 wouldn't have to do that, but --

11 MR. SHIRAKH: Thank you, George.

12 MR. HODGSON: Mike Hodgson, Counsel,  
13 representing CBIA.

14

15 I'm not sure if you skipped a couple  
16 sections, so I'm going to cover something and if  
17 I'm off base, let me know, okay?

18 But to start with 150.1(c)10, which is  
19 in -- this is just a reiteration of the 0.45  
20 watts per CFM on gas furnaces, that's in play and  
21 we want to talk about it. We're not arguing, we  
22 just want to understand how we can achieve that  
23 in new construction.

24 But Section 12 on ventilation cooling for  
25 whole-house fans, that area, you did not address.



1 Is that something that's covered in this section?

2 MR. BOZORGCHAMI: Actually, Mark -- I  
3 don't have the slides for that, but Mark is going  
4 to do a quick presentation -- description in  
5 that --

6 MR. HODGSON: Okay. All right.

7 MR. BOZORGCHAMI: -- in two seconds.

8 MR. HODGSON: So skip that for right now.

9 And how about the Tables 151-A, are those  
10 going to be presented today or were they  
11 presented?

12 MR. BOZORGCHAMI: Those tables, no, not  
13 in -- really, there's nothing much to say about  
14 it.

15 MR. HODGSON: Okay.

16 MR. BOZORGCHAMI: What we did was for  
17 simplifications, to get ready for 2022, we  
18 separated the residential single-family from  
19 multifamily and updated the values a little bit  
20 for high-performance walls and attics, attic QII.  
21 And because of the complexity of above-duct  
22 insulation, we removed that Option A.

23 And with -- the problem that we're having  
24 is when you do tables in a track change format  
25 and you delete a table, it's pretty much gone.

1 We're trying to figure out a way to put the  
2 previous table back on there so everyone could  
3 so, and I'm still -- we're trying to figure that  
4 out.

5 MR. HODGSON: well, a general comment  
6 then, just for people who are actually reading  
7 these, just what Payam said, is the table is not  
8 track changed, so you do have to pay attention to  
9 what's new and what's not new, so just as a  
10 heads-up because the rest of the manual is, and I  
11 understand the issue.

12 But since these are not being covered in  
13 great detail, I just wanted to reiterate Bob  
14 Raymer's comments from earlier today, is the  
15 building industry opposes the 0.043 you value for  
16 walls and would like to go back to 0.051, just  
17 for practical and cost effective rationale.

18 And then when you have comments about  
19 whole-house fans, we'll come back and talk.

20 Thanks.

21 MR. HAACK: Charlie Haack with the North  
22 American Insulation Manufacturers Association.  
23 I'll keep this quick because we are going to  
24 submit written comments, as well, but first, just  
25 thank you to all Commission staff. This is a

1 large undertaking. I know it's a lot of work.

2 Thank you for all your hard work.

3           This section, we did definitely support  
4 the recommendation of cost-effective increases to  
5 the wall efficiency that were actually just  
6 discussed, as well as prescriptive QII. We are  
7 strongly -- strong support of both of those.

8           We also support the separation within the  
9 EDR. We're really happy to see that the  
10 efficiency aspect is separated from the renewal  
11 aspect, that they work together to achieve the  
12 goal of net-zero energy. We're really happy to  
13 see that the EDR is divided that way.

14           Again, we'll submit written comments, as  
15 well, but wanted to come up here and say what a  
16 great job you're doing. Thank you.

17           MR. SHIRAKH: Thank you, Charlie.

18           MR. CUBANO: Good morning. Abe Cubano  
19 with Owens Corning. I'd just like to read a  
20 letter we've prepared, and we will be submitting  
21 some comments here in the future.

22           "We'd like to begin by thanking Commissioner  
23 McAllister and the Commission staff for their  
24 efforts thus far on the development of the  
25 2019 Standards. Owens Corning acknowledges

1 that there's a variety of perspectives  
2 regarding the Standards, and we continue to  
3 advocate for continued dialogue during this  
4 process.

5 "In regards to what has been proposed to  
6 date, Owens Corning supports existing CEC  
7 staff recommendations, including the  
8 prescriptive language relative to attic and  
9 walls and U-factor increases in both those,  
10 and quality insulation installation as a  
11 prescriptive measures, and the EDR, of  
12 course, in the proposed path of both energy  
13 efficiency and renewable.

14 "Owens Corning has extensive knowledge in  
15 applied building science. And it is from  
16 this perspective that we continue to promote  
17 policies and practice that look at buildings  
18 from a systems perspective. Given this  
19 perspective, we believe that energy  
20 efficiencies, renewable and power storage are  
21 scenarios where we -- where power storage are  
22 inherently complimentary when appropriately  
23 balanced. When this balance is skewed we  
24 risk scenarios when we over-promise and  
25 under-delivery in regards to energy policy

1 electricity grid management and consumers  
2 long-term benefits. We believe there are  
3 case examples to support this concern.  
4 "In the coming weeks we expect to submit  
5 additional written comments which will  
6 further details the science and economics  
7 behind our reasoning that energy policy  
8 should start with a foundation of optimized  
9 energy efficiency, which is then supplemented  
10 by renewable storage and other technologies.  
11 "Owens Corning has teams across the country  
12 that work every day with this -- every day  
13 with various stakeholders, including the  
14 Builder Committee, to deliver on this  
15 optimization promise. We work  
16 collaboratively with various industry  
17 suppliers from a wide spectrum of categories.  
18 And we are sensitive to the builders and  
19 first-cost concerns and look forward to  
20 demonstrating that the right recipe of energy  
21 efficiency, renewables and other technologies  
22 can strengthen a builder's business without  
23 sacrificing on sound energy policy. We  
24 continue to be open to direct dialogue with  
25 other stakeholders involved in this process

1 for the purpose of finding common ground."

2 Thank you.

3 MR. SHIRAKH: Thank you.

4 MR. BOZORGCHAMI: Abe, I just want to  
5 make a clarification to your letter.

6 Energy Commission did not increase the U-  
7 factor. Actually, we decreased it.

8 MR. CUBANO: Oh, sorry. Yes.

9 MR. BOZORGCHAMI: So I just wanted to  
10 make sure that --

11 MR. CUBANO: Correct. Yeah. Yeah.

12 MR. BOZORGCHAMI: -- the public  
13 understands that we --

14 MR. CUBANO: Thanks very much.

15 MR. BOZORGCHAMI: -- what we did.

16 MR. CUBANO: Yeah. Thanks very much.

17 MR. SMITHWOOD: Brandon Smithwood,  
18 Director of California State Affairs for the  
19 Solar Energy Industries Association. I'll work  
20 with my colleagues to comment on the insulation  
21 issue.

22 But I wanted to -- can we flip back to  
23 the PV requirement? So a few questions, and I'll  
24 just -- I'll rattle them off.

25 The first is why the PV size would be

1 reduced if you installed it with a battery?  
2 Because, presumably, that's -- you're increasing  
3 the load and might want to oversize that battery  
4 system. I'm just curious whether you -- there's  
5 a modeling reason, or if that's just --

6 MR. SHIRAKH: It's all driven by time-  
7 dependent valuation, TVD. And what storage does  
8 is it enhances the value of a PV system because  
9 what it can do is store relatively low value  
10 kilowatt hours that are generated in the middle  
11 of the day, like right now there's little demand  
12 for it, and it can make it available to the home  
13 or the grid during high TVD values. So it's all  
14 driven by time-dependent valuation.

15 MR. SMITHWOOD: It's just valuing self-  
16 consumption --

17 MR. SHIRAKH: It's the same way --

18 MR. SMITHWOOD: -- on a TVD basis?

19 MR. SHIRAKH: Yeah.

20 MR. SMITHWOOD: Okay. Now I get it.

21 MR. SHIRAKH: And thermal storage also  
22 works the same, and all of these are demand  
23 flexibility, demand response strategies that can  
24 enhance the value of a PV system by storing it at  
25 a time when it has low value and making it

1 available when it's high value. And EDRs are  
2 also -- energy design rating scores are based on  
3 TVDs, so you can take advantage of that  
4 mechanism.

5 MR. SMITHWOOD: I know

6 MR. PENNINGTON: Maybe I could add a  
7 little bit to that, Brandon. So this is strictly  
8 with respect to the Part 6 requirements for PV.  
9 And there isn't any prescriptive requirement for  
10 batteries, maybe, arguably, not cost effective  
11 yet. Maybe we'll see that in future standards,  
12 but in this round there's no requirement for  
13 batteries.

14 So batteries is a powerful compliance  
15 option, then, for applying towards the PV and  
16 demand flexibility EDR. And so you could use  
17 that battery to reduce the size of the PV system  
18 that would be required by Part 6.

19 If you turn to what will happen with Part  
20 11 with local ordinances adopting standards that  
21 are moving towards ZNE, batteries will probably  
22 become a powerful way to reduce your EDR down  
23 towards zero, in combination with the PV system.

24 And so that may be a little confusing,  
25 that there's sort of two worlds and two different



1 things that are going on. In one case, you would  
2 want to probably double up batteries and PVs to  
3 get as close to ZNE as possible, but that's a  
4 Part 11 local ordinance world. In the Part 6  
5 world, we're just talking about a PV requirement  
6 with a battery option out there that's a pretty  
7 powerful tradeoff. And in the Part 6 compliance  
8 world the battery can help you reduce the size of  
9 the PV system that's required.

10 MR. SMITHWOOD: Yeah, and that's helpful.  
11 I was just wondering how we were getting to this,  
12 the tradeoff? Obviously, we're very supportive  
13 of having the storage as an option within the  
14 code.

15 MR. PENNINGTON: Well, as Mazi said,  
16 we've done extensive work to try to properly  
17 model batteries, so that's within our modeling.

18 MR. SMITHWOOD: Okay. The --

19 MR. SHIRAKH: And the other thing this  
20 does, if you have a roof that is space  
21 constrained, it still allows the builder to  
22 comply, putting a smaller PV system with battery  
23 and still, you know, get to the --

24 MR. SMITHWOOD: That's a good segue to my  
25 other question which is, you know, when we have

1 discussed potential offsite options for the  
2 Building Code it's been seen as not as in lieu of  
3 installing a system on a home which could  
4 accommodate a system, it's in lieu of -- or it's  
5 to accommodate for the home which is unable to  
6 either accommodate -- either have a properly  
7 sized system, a large enough system, or can't  
8 host a system at all. And so I look at the  
9 three-story single-family homes as, you know,  
10 there should be this interplay between the  
11 community-solar option within the code and the  
12 prescriptive requirement for PV where if you  
13 can't meet it onsite, that's your opportunity to  
14 use an offsite option. And I think those -- I  
15 mean, I'm envisioning the three-story home with  
16 the small amount of roof space for a lot of  
17 square footage and load. And I -- to me, that's  
18 an ideal opportunity.

19 MR. SHIRAKH: So we need to add another  
20 exception here for community-solar. We haven't  
21 done that yet. But the problem, and I think Bill  
22 can speak to that, is this is the first time  
23 we're doing this. We have to be cautious that we  
24 don't create a situation that's impossible to  
25 comply with. And currently we haven't found, you

1 know, one community-solar strategy that, you  
2 know, we feel it can work in every other -- in  
3 all circumstances. And not having that  
4 bulletproof option, you know, we can't really  
5 rely on that strategy. That's why we crafted  
6 these exceptions.

7 MR. SMITHWOOD: Right.

8 MR. SHIRAKH: Now, again, if by 2022  
9 things change and, you know, some of these  
10 community-solar strategies become more realistic  
11 of commonplace, then we can revisit, you know,  
12 some of these exceptions. But for this time  
13 around I really don't think we're there.

14 Bill, do you want to add something to  
15 that?

16 MR. PENNINGTON: The only thing I would  
17 say is that the way I've envisioned the  
18 community-solar kind of getting called out in  
19 Part 6 is as an exception to the Performance  
20 Standards, so that you could use it in a  
21 performance approach. I think if you actually  
22 were going to go that way, almost all of your  
23 compliance cases would end up performance  
24 approach. So I think it's a little superfluous,  
25 whatever that word is, to have it in the

1 prescriptive section, particularly since it's an  
2 opportunity that doesn't exist at the moment.

3           So I think having it in the performance  
4 path as an exception is the logical place for it.  
5 But anyway, that's my opinion.

6           MR. SMITHWOOD: The last question, and  
7 then I will stop hogging the podium here.

8           How are you envisioning limitations? So  
9 we have a solar-ready roof requirement. And I'm  
10 looking at this first bullet which makes  
11 exemptions. Well, now that I'm reading this, I'm  
12 assuming this is just shading. But when I read  
13 it initially I was thinking this was for if there  
14 was, you know, a pipe or some obstruction within  
15 that area of the roof, so maybe I've answered my  
16 own question as I've reread this bullet here.

17           But what -- I mean, how -- I guess how  
18 does this align with the solar-ready roofs  
19 requirement?

20           MR. SHIRAKH: So what we were envisioning  
21 is that the builder would have to think hard  
22 about their roofline and all the, you know,  
23 chimneys and pipes and so forth, because we  
24 haven't provided an exception, you know, if you  
25 have a chimney or a vent or something. There is

1 no exception for it, so the builder has to think  
2 about that. That's not going to be an acceptable  
3 argument.

4           So all the -- the first exception that  
5 you see is for, you know, shading or problems  
6 that it's beyond their immediate control. So,  
7 you know, they need to understand that it might  
8 take a little time, but they have to come up with  
9 a roofline that works.

10           So there's an argument that we've heard  
11 that since PV is going to be a requirement now,  
12 do we even need to have the solar-ready language  
13 in the code? And so we have to think about that.  
14 And we probably don't need that anymore because  
15 you either have to put in the solar, the PV,  
16 that's prescriptive required, or by performance,  
17 or you fall under one of these exceptions. So we  
18 may not need that solar-ready language in there  
19 anymore, but there may be unintended  
20 consequences. We haven't really talked through  
21 it yet.

22           MR. SMITHWOOD: Okay.

23           MR. SHIRAKH: So that's our next --

24           MR. SMITHWOOD: Yeah. No. This answered  
25 my question, I think. In rereading the bullet

1 yet again I -- anyways, thank you.

2 MR. WICHERT: We have a comment online,  
3 Danny.

4 Eric, I'm going to un-mute you now. Go  
5 ahead and state your name and affiliation.

6 MR. DEVITO: Hello. Thank you. This is  
7 Eric DeVito with SMXB Law. And we've  
8 participated in the past several code updates  
9 related to the fenestration issues. And I  
10 apologize, I couldn't be there in person.

11 My comment today is related to the  
12 prescriptive tables, specifically for the U-  
13 factor and SACC requirements in the new tables.  
14 And they're the same, both for single-family and  
15 multifamily, so I just wanted to raise them  
16 first.

17 You know, we fully support the slightly  
18 tightening on the U-factor for all the zones.  
19 Lowering it, those are achievable, and that's a  
20 good move for California and we support it. And  
21 we support the same SACC, sort of the tightening  
22 of the SACC requirement in the cooling-dominated  
23 zones, again, achievable and the right move.

24 My comments really today, and we had  
25 filed written comments in June, and my comments

1 now are pretty consistent with those, are with  
2 regard to the new minimum SACC prescriptive  
3 requirement. Conceptually we understand the  
4 desire to do something like this and the need for  
5 the better modeling for the high solar gain  
6 options in some of these heating-dominated zones  
7 or low-cooling or no-cooling zones, so we don't  
8 quarrel with that. And, you know, we'd welcome  
9 the opportunity to work with you on alternatives  
10 that get you to that goal.

11 Our primary concern is overdoing it as a  
12 prescriptive requirement. And the reason behind  
13 that is just, you know, there are a lot of things  
14 that go in behind it. There are orientation  
15 issues. There are other factors, like comfort  
16 and things that go along with the solar gain on  
17 other orientations, whereas really the solar gain  
18 issue is more predominantly a south-facing sort  
19 of benefit. And to do it prescriptively in all  
20 four orientations we think misses the mark of it.

21 You know, it's sort of a mirror image.  
22 You have the max west-facing -- max west-facing  
23 glazing area with a five percent requirement in  
24 the prescriptive table for a reason. I mean, you  
25 know, conceptually I think you might need a

1 minimum south-facing glazing area, you know,  
2 percent to actually make this -- make this to hit  
3 the benefits that you're maybe going for. I'm  
4 not necessarily suggesting that, but really  
5 pointing out as to, you know, one of the reasons  
6 why we think, you know, doing the -- setting a  
7 minimum prescriptive SACC requirement may be the  
8 right way to do it.

9           We would prefer you just do it either in  
10 the performance path through the baseline or the  
11 ACM Manual. And I think the final version of the  
12 case report sort of noted that doing it in the  
13 ACM Manual might be an option that might work.  
14 That would be what our recommendation is. That's  
15 what we would support. We think, you know, there  
16 are still going to be modeling issues, even with  
17 setting it as a minimum prescriptive requirement  
18 in the table. You know, I'm not, you know, sure.  
19 I'm assuming you'd model it as a 0.35, but I'm  
20 not sure if that's what you were necessarily  
21 going for, if not.

22           But I also think it raises issues on the  
23 replacement windows in alterations and additions,  
24 you know, for homes that may have solar gain  
25 windows in there now. And then you do this as a



1 new requirement and they're replacing additional  
2 windows in the future or adding an addition,  
3 there are aesthetic reasons why you might not  
4 want to put this minimum SACC requirement on  
5 replacement and alterations and additions, so I  
6 would raise that point.

7           And then lastly, I raise just really an  
8 editorial comment on the table. In Climate Zone  
9 16, and back to that max west-facing glazing area  
10 line, it still says a max west-facing glazing in  
11 Climate Zone 16 as five percent, despite the fact  
12 that you have the minimum SACC requirement there.  
13 I'm guessing you may want to change that to NR,  
14 like Zones 1, 3, and 5. I don't know that to be  
15 true, but I just raise that. In case you meant  
16 to change that to NR, it's still showing as five  
17 percent in your proposed table.

18           And with that, I will end my comments,  
19 and we will be filing written comments, similar  
20 to what I've just said today. Thank you.

21           MR. BOZORGCHAMI: Thank you, Eric. This  
22 is Payam. Regarding the five percent, I think we  
23 may have missed that. I'll discuss this with Ken  
24 Nittler real quick afterwards and see if we can  
25 fix that edit.

1           But in reality, the reason we put the  
2 0.35 minimum was because in those climate zones  
3 where, I guess, heating is dominant, we had a  
4 lower SACC. It's actually not going to be a  
5 benefit for the energy efficiency. Those climate  
6 zones, you actually need that extra heat from the  
7 sun to kind of penetrate.

8           But we'll look into it, and I'll start a  
9 dialogue with you.

10           MR. DEVITO: Great. Thank you.

11           MR. WICHERT: We have another online  
12 comment.

13           Joe, I'm going to un-mute you now.

14           MR. CAIN: Thank you. Joe Cain with  
15 Solar Energy Industries Association.

16           We've issued this in rounds of public  
17 comments, but the question of, you know, the  
18 benefits of PV paired with storage. And, you  
19 know, there's, of course, many benefits and  
20 that's been discussed, and the Commission has  
21 worked hard to include that. And, of course, we  
22 think that's where industry is going with those  
23 paired together, and we want to make that as an  
24 attractive -- an option that's as attractive as  
25 possible.

1           So the question is -- you know, CBIA has  
2 presented some testimony today about the HPA and  
3 the wall U value and, you know, their either  
4 opposition or, you know, wish for more  
5 flexibility. In terms of overall design  
6 flexibility, we've also heard about, you know,  
7 some are pleased that the EDR is separate for  
8 efficiency and for renewables. And one of the  
9 things that keeps coming back into conversation  
10 is the PV credit against efficiency. Many people  
11 are opposed to that. We support it. But  
12 specifically PV paired with storage, we still  
13 feel, should have some compliance credit and some  
14 level of tradeoff allowed. And that may help to  
15 mitigate some of the issues about builder  
16 concerns, about -- say, for instance, that the  
17 wall U value or any other component of the  
18 building, if it's allowed, as some form of  
19 tradeoff.

20           So we would still like to see some  
21 compliance credit for PV paired with storage.  
22 And we've also been hearing that when PV is  
23 paired with storage, you know, it has, in  
24 addition to all the other benefits, it has the  
25 TVD benefit. And so I'm interested to hear from

1 Staff, you know, is there an argument for why PV  
2 paired with storage should not be allowed some  
3 compliance credit? Because we've also been  
4 hearing that PV plus storage at the meter behaves  
5 very similar to an efficiency measure.

6           So I'd like to encourage the Commission  
7 to continue to consider PV plus storage for some  
8 compliance credit in the performance approach.  
9 And I'd also like to hear, you know, kind of  
10 where the Commission is on that.

11           MR. SHIRAKH: Hi, Joe, this is Mazi.  
12 Maybe I can answer that.

13           So CBIA had submitted comments that  
14 basically is asking for a credit along the lines  
15 that you just described. That would be PV plus  
16 storage. You know, we have started talking to  
17 various stakeholders that might be impacted or be  
18 interested in this topic. That includes the  
19 insulation manufacturers. So what we're doing  
20 right now, you know, our goal is to have an  
21 efficient building with efficient envelope that  
22 would include, you know, elements of high-  
23 performance attics and walls, along with an  
24 appropriate amount of PV that's grid harmonized,  
25 which in most cases would mean a battery storage

1 system. Now within that there is probably an  
2 opportunity to provide a limited credit for the  
3 PV system without jeopardizing the energy  
4 efficiency features of the building.

5           So we're working towards that goal. And,  
6 you know, we're continuing to negotiate with  
7 various stakeholders. And I think in the next  
8 few weeks we might actually have a proposal that  
9 we can roll out.

10           MR. CAIN: Great. Thanks Mazi. Yeah, we  
11 would be extremely interested in, you know,  
12 participating in those conversations.

13           MR. SHIRAKH: Thank you, Joe.

14           MR. NESBITT: George Nesbitt, HERS Rater.

15           So on the PV and the exceptions, I guess  
16 what I'm not seeing is -- okay, you don't have to  
17 install PV. You don't have to invest the money.  
18 You also don't get the financial benefit the  
19 system gives you. But what do you do? I mean,  
20 our code is really based on a lot of tradeoffs  
21 where, you know, you meet a budget. How you get  
22 there is, you know, you can choose how to get  
23 there, or if you don't do this you have to do  
24 that, or, you know, your exception says, okay,  
25 yeah, you can do that, but you're going to have

1 to do this in addition.

2           So what's stopping someone from designing  
3 a roof that has so many hips and valleys and, you  
4 know, designing a subdivision from having tall  
5 buildings to short buildings and, you know,  
6 various things that says, well, solar is just not  
7 viable?

8           MR. SHIRAKH: Having hips and valleys is  
9 not going to get you an exception. That's not  
10 there. And they need to think about the roof.  
11 There is not an exception for hips and valleys.

12           MR. NESBITT: Some roofs get pretty  
13 chopped up and have --

14           MR. SHIRAKH: Yeah. But, I mean, that's  
15 not going to get them --

16           MR. NESBITT: -- really small areas.

17           MR. SHIRAKH: -- get them out of the PV  
18 requirement.

19           MR. NESBITT: Right. But so let's say  
20 they do invoke an exception, what do they do? Do  
21 they have to build a better building?

22           MR. SHIRAKH: Yeah. Well, I mean, that's  
23 why we're putting this out there, so they'll know  
24 that, yeah, if there's an external problem to the  
25 building, that will -- there's a mechanism for

1 it. But if it's a poor roof design, there is no  
2 exception for it. And, you know, we want  
3 everyone to understand that that is not an off-  
4 ramp.

5 MR. NESBITT: Yeah. It still seems kind  
6 of vague to me in the sense that, well, what is?  
7 I mean, it's one thing to say that if you  
8 installed the system, you have a required system  
9 size and if you installed it on your building,  
10 and maybe if there's no shading there's X output,  
11 but because of external shading, whether it's  
12 trees or buildings, unless it degrades the  
13 performance by more than X percent then it's  
14 viable. I mean, it's --

15 MR. SHIRAKH: It becomes -- I mean,  
16 complexity is an issue, you know, trying to  
17 explain all that in the code language. And in  
18 the end, cost effectiveness becomes an issue. And  
19 if you've got -- you know, half your PV system is  
20 shaded and your kilowatt production is half of  
21 what it's supposed to be, you know, what happens  
22 to the homeowner's investment? So, you know,  
23 we've got to be, you know, kind of mindful.  
24 Again, this is the first time we're doing this  
25 and, you know, we need to be cautious and kind of

1 see how it works.

2 MR. NESBITT: Yeah. I mean, I'm just  
3 worried it's vague enough that then people don't  
4 do it.

5 MR. SHIRAKH: Well, these exceptions, the  
6 ones that we've crafted, has more meat to it than  
7 what you see here. There's actually some  
8 criterias built into them. What you see here is  
9 just a --

10 MR. NESBITT: I did look at -- yeah.

11 MR. SHIRAKH: Yeah.

12 MR. NESBITT: But --

13 MR. MEYER: George, this is Christopher  
14 Meyer, the Manager of the Building Standards  
15 Office.

16 You know, Mazi, Bill and I have spent a  
17 lot of time thinking about this. And also, as  
18 Mazi said, we're trying to be cautious in this  
19 first go. We're trying to be very cognizant of  
20 nonparticipant costs, other external issues with  
21 grid harmonization, because we don't want to end  
22 up running up against a lot of, you know, whether  
23 it's utilities or other people from the grid side  
24 to oppose it. So we're trying to find something  
25 that works within those constraints, as Bill



1 mentioned.

2           But also what we're seeing is thanks to  
3 the work of you others in getting solar to be  
4 accepted, and it's sort of, you know, we've seen  
5 this sort of market transformation where before  
6 our codes even required it there's ZNE  
7 communities that, you know, certain places in  
8 California, there's local ordinances. So we're  
9 starting to see that market transformation.  
10 We're starting to see home buyers looking for  
11 solar communities. And we're starting to see  
12 progress, you know, that's going to by 2020.  
13 We're hoping that it keeps going in this  
14 direction where, you know, potentially a home  
15 developer can reduce the amount of time that  
16 houses are sitting on the market and sold in all  
17 of those costs of that by adding solar and things  
18 of that nature to basically work against home  
19 builders who purposely design subdivisions that  
20 go towards exceptions.

21           And also, beyond what we can control, as  
22 Mazi said, it's like we deal with buildings on a  
23 building by building, which is, you know, the  
24 Building Code. You have whole other issues on  
25 CEQA-level reviews that are happening that could

1 potentially take into account how whole  
2 developments are designed. We're trying to say,  
3 as Mazi said, if a building is designed poorly  
4 and it's within the control of that developer to  
5 design that roof and the vents and stuff, there's  
6 no exception for that. They just have a  
7 noncompliant building.

8           MR. NESBITT: Right. I mean, my concern  
9 is individual homeowner or could be development,  
10 development is what happens when -- I put solar  
11 on my house and my neighbor didn't because, for  
12 some reason, they claimed an exception or the  
13 building department, you know, doesn't enforce  
14 things. There's that. And like I'm saying,  
15 there's exceptions, but you're not saying you  
16 actually have to do anything because you have the  
17 exception.

18           You're not saying you have to actually  
19 now make a more energy efficiency building. But  
20 let me -- and PV is not equal to efficiency.  
21 Solar hot water, I could argue, is because it  
22 directly offsets electric or gas use, whereas PV  
23 is just a replacement for where you get the  
24 electricity you consume.

25           But some of the comments you said, my

1 bigger concern is that you're sizing these system  
2 too big. You simply -- you're sizing it based on  
3 100 percent of predicted electrical use for a  
4 mixed-fuel home. And then at times you're giving  
5 credit if you oversize over that by adding  
6 battery and doing this and that. And in  
7 CALGreen, you're going to call for even more.  
8 And the reality is that we have net metering and  
9 there are limits to what you are supposed to put  
10 on the grid, and oversizing. And historically  
11 the solar industry has probably sold systems  
12 based on around 70 to 80 percent of your actually  
13 electric use.

14           According to Aurora Solar, with net  
15 metering 2.0 and time-of-use rates, it actually  
16 makes sense to put in bigger systems, but we're  
17 not talking about 100 percent.

18           I have seen houses that, you know, had  
19 two adults, kids, and their actual electric --  
20 all-electric house and their consumption is half  
21 the predicted amount in the software.

22           So we're going to base the sizing off of  
23 a prediction that may or may not be valid. We're  
24 going to then size for 100 percent or greater.  
25 You may not be able to get an interconnection

1 from the utility. And we also have grid issues.  
2 We have a duck curve problem. And so, you know,  
3 there are inverters that will not export to the  
4 grid. And I guess Nevada does not allow you to  
5 export excess. Batteries can do the same similar  
6 thing.

7           So I'm really worried we're actually  
8 headed into a disaster, and we're not being  
9 conservative.

10           MR. MEYER: Okay. Thank you, George.

11           MR. NESBITT: I mean, we should be  
12 starting with far smaller systems.

13           MR. MEYER: Thank you very much, George.

14           MR. HILLBRAND: Hi. This is Alex  
15 Hillbrand with the Natural Resources Defense  
16 Council.

17           I wanted to say thanks on behalf of all  
18 of us for the Commission's effort on this draft  
19 language, looking great. And we're happy to see  
20 that the building envelope measures have made it  
21 this far, as have been considered.

22           On the issue of storage and PV, we value  
23 both of them greatly. We do think at this point  
24 that it makes the most sense for an incentive for  
25 storage to be in the PV EDR section. If there's a

1 conversation about that, we'd like to be a part  
2 of it, but we do agree with what Mazi said, which  
3 is that the principle goal here is an efficient  
4 building that then has PV. And if we can start  
5 increasing market penetration of storage, both  
6 thermal and battery, we'd like to do that, but  
7 not at the expense of the efficiency of the  
8 building.

9           Thanks.

10           MR. SHIRAKH: Thank you.

11           MR. PENNINGTON: So we would very much  
12 like to hear NRDCs comments, not today, but, you  
13 know, in written comment related to the electric  
14 water heating provisions that are in the  
15 prescriptive standards. That would be very  
16 helpful.

17           MR. HILLBRAND: Sure. We can provide  
18 those, and thanks for including it.

19           MR. BOZORGCHAMI: So there's two sections  
20 that I guess we missed the slides on Sections  
21 150.1(c)10 and 150.1(c)12 where Mark Alatorre is  
22 going to do a quick explanation of what those  
23 sections are about. And I think Mike Hodgson  
24 from Con-Sol had some comments.

25           MR. ALATORRE: Yeah. Well, I apologize

1 that these are not included in the slide deck,  
2 but there were some changes to the prescriptive  
3 requirements in 150.1(c)10 which is titled  
4 Central Fan Integrative Ventilation Systems. And  
5 the changes were to reflect the mandatory  
6 requirement -- changes to the mandatory  
7 requirement for fan watts. So the change  
8 includes a 0.45 watts per CFM for gas furnace air  
9 handling units that are used to provide outside  
10 air for ventilation. All other air handling  
11 units still must comply with the 0.58.

12           Secondly, in 150.1(c)12, which is  
13 ventilation cooling or the whole-house fan  
14 requirement, there was some cleanup language, but  
15 the airflow and the attic vent free area remain  
16 the same. It was mainly to be more clear of  
17 where to verify the whole-house fan performance.  
18 And we accurately called what our database was  
19 formerly named, and so that was the extent of  
20 that change.

21           And that was it.

22           MR. BOZORGCHAMI: Mike, you had some  
23 comments on that section?

24           MR. HODGSON: Well, (c)10, I don't want  
25 to be too reiterative, we just have an issue with

1 0.45. We just want to understand how that's  
2 going to incur.

3           And in (c)12, I just wanted to call the  
4 audience's attention to that. It's a whole-house  
5 fan. And I think really the meat of it will be  
6 in the joint -- in the reference -- or, yeah, the  
7 residential appendices where there's a lot of  
8 language change on verification. So there's  
9 really no change, other than what happens in the  
10 residential appendices or the reference  
11 appendices, from what I understand.

12           MR. MILLER: I thin think that the  
13 verification that's in the residential appendices  
14 is there because there will be an opportunity for  
15 performance compliance that's better than the  
16 prescriptive requirement.

17           MR. HODGSON: Uh-huh. Yeah. That's it.  
18 Yeah. Thanks.

19           MR. STONE: Nehemiah Stone.

20           If you look at the language in that  
21 particular section, it still says single-family,  
22 but then it references the multifamily table, as  
23 well as the single-family table. So if you meant  
24 it to apply to multifamily, then you probably  
25 should eliminate single-family. If you didn't

1 mean it to apply to multifamily, you should  
2 eliminate the reference to Table B.

3 MR. BOZORGCHAMI: Good catch. We'll fix  
4 that.

5 MR. STONE: Sorry?

6 MR. BOZORGCHAMI: We'll fix that. Thank  
7 you.

8 MR. STONE: Thank you.

9 MR. BOZORGCHAMI: Well, if there's no  
10 more comments, let's do lunch, and maybe be back  
11 here by 1:30, if that's okay with everyone?  
12 Thank you.

13 (Off the record at 12:28 p.m.)

14 (On the record at 1:38 p.m.)

15 MR. BOZORGCHAMI: So good afternoon  
16 again. My name is Payam Bozorgchami, Project  
17 Manager for the 2019 Building Energy Efficiency  
18 Standards.

19 We're going to start the afternoon with  
20 Danny Tam, discussing the Joint Appendix, JA,  
21 sections that we have made some changes to.

22 MR. STRAIT: Nope, 150.2.

23 MR. BOZORGCHAMI: I take it back. I'm  
24 sorry, I'm looking at the wrong thing. I do need  
25 new glasses. We're looking at Section 150.2,



1 the low-rise residential building additions and  
2 alterations. I apologize.

3 MR. TAM: Hi. Danny Tam, Building  
4 Standards Staff again. I'll be talking about  
5 changes to 150.2.

6 Okay. So the prescriptive standards for  
7 additions larger than 700 square feet, we're  
8 modifying the language increasing the insulation  
9 and 2 X 6 framing to R-21. This was done to be  
10 consistent with the changes in 150.1.

11 Okay. So for additions less than 700 square  
12 feet, on the roof and ceiling insulation we're  
13 increasing the ceiling insulation to R-38, for  
14 climate zones 1 and 1 through 16. And R-30, for  
15 climate zones 2 to 10. We also added an  
16 exception for enclosed rafter ceiling, or a  
17 cathedral ceiling, to meet just the mandatory  
18 requirement in 150.

19 Okay. For radiant barrier, we added some  
20 language to clarify what the requirement is. And  
21 we also added an exception for QII. So for  
22 additions less than 700 square feet, you don't  
23 need to meet the QII requirement.

24 Okay. Moving on to HVAC. For entirely new or  
25 complete replacement space conditioning systems

1 we added an exception, so you can install a heat  
2 pump space conditioner when you replace the  
3 existing gas system. Also in 1G, altered space  
4 conditioning system, we added a section that  
5 allowed the installation of a heat pump space  
6 conditioner when your replacing a gas furnace or  
7 any other gas heating equipment.

8           Okay. In 1F, altered space-conditioning  
9 system, mechanical cooling. We added some  
10 language for small duct high velocity systems,  
11 similar to the language in 150.1. This will  
12 trigger when refrigerant charge is triggered by  
13 the alteration and they have to meet the minimum  
14 air flow requirement of 250 CFM per ton.

15           Okay. Moving on to water heating  
16 alteration. So we added a new prescriptive  
17 alteration option for consumer electric water  
18 heaters above 55 gallons. So it will require an  
19 additional PV capacity of one kilowatt. If  
20 (indiscernible) if the homeowner is doing  
21 something, adding more PV, they can just put in  
22 any heat pump water heater.

23           So I just want to add the word  
24 "consumer." George had a question earlier. So  
25 the full standards have two different classes for

1 water heater. There's a consumer class and a  
2 commercial water heater class. So it is true  
3 that for commercial water heaters, there is like  
4 an 80 gallon electric resistance water heater,  
5 which is not what we meant. We meant consumer.  
6 So under the consumer standard above 55, the  
7 requirement is above a 2.0 uniform energy factor,  
8 which means basically a heat pump and water  
9 heater.

10           So we added a new exception, so if you  
11 install a heat pump water heater that meets NEEA  
12 Tier 3 advanced water heater specification or  
13 better, in climate zones 1 through 15, then  
14 you'll meet the prescriptive water heating  
15 alteration requirement.

16           And that's it.

17           (Colloquy)

18           MR. STONE: Can you hear me now? All  
19 right.

20           So first thing is on the water heating on  
21 H2, distribution system, it says "manual control  
22 pumps," but it probably should say "manual on  
23 control," so that manual control could simply be  
24 a switch, an on/off switch. You want it to be  
25 able to -- you want the demand control to shut

1 off when it no longer needs to be on. So a minor  
2 change, but it can make a big difference.  
3 I'm very glad to see that you made it easier for  
4 people to put in heat pump water heaters. I  
5 think it's the right thing to do. I question the  
6 complexity of the way that it's done. It seems  
7 to me that putting heat pump water heaters, just  
8 showing it up as an exception, kind of sends the  
9 wrong message. And even though it's only  
10 commercial electric resistance water heaters that  
11 can be up to 80 gallons, Home Depot is not going  
12 to ask which set of appliance standards the water  
13 heater falls under. And they're just going to  
14 continue to sell them. As long as they sell  
15 them, people are going to putting them in.  
16 I think in this whole section, and I can in  
17 writing send you what my recommendations are on  
18 the individual parts, but I think it would make  
19 it easier for designers and more particularly for  
20 the code enforcement community to be explicit  
21 about electric resistance water heating and heat  
22 pump water heating. And as I said, I can go  
23 through this and make some recommendations on how  
24 that language would be, but again I want to thank  
25 you for making it easier for people to put in

1 heat pump water heaters. That was the right  
2 thing to do.

3 MR. TAM: Thanks, Nehemiah.

4 MR. NESBITT: George Nesbitt, HERS Rater.  
5 So for roof and ceiling insulation, I guess  
6 you've changed from the package requirements and  
7 you've changed the insulation levels a little bit  
8 in a couple of the zones, climate zones. So  
9 ceilings with attics?

10 MR. BOZORGCHAMI: So what's happening is  
11 that once this section is referring to an  
12 addition that's less than 700 square feet, the  
13 current section says that you have to only meet  
14 the mandatory minimum. Okay? Well, mandatory  
15 minimum is only an R-22. So if you do an  
16 addition of 700 square feet, you could at least  
17 do an R-30 or R-38, depending on the climate zone  
18 you are in.

19 And this really doesn't -- if you look at  
20 Option A, the new Option A, or look for your  
21 attic's insulation, you have that ceiling  
22 insulation plus the roof insulation, in newly  
23 constructed buildings.

24 So what we did was we just wanted people  
25 to have attic-type roofs in those climate zones

1 to have the proper insulation.

2 MR. NESBITT: Okay. Right. I see, yeah.

3 MR. BOZORGCHAMI: And then for rafters we  
4 just left it as-is. We didn't touch that.

5 MR. NESBITT: Okay. Right. Okay, so  
6 you're saying for additions less than 700 square  
7 feet you don't have to meet all the requirements  
8 of a new --

9 MR. BOZORGCHAMI: No. Over 700 you do,  
10 but not under 700.

11 MR. NESBITT: Yeah, yeah. Okay. Yeah,  
12 just because I noticed the insulation levels were  
13 different in some of the climate zones, but yeah  
14 you just don't have to do the high-performance  
15 attic type things, is what you trying to also  
16 differentiate.

17 So under -- I don't know where I am --  
18 Section C. So you're talking about new or  
19 replacement space conditioning systems. Under  
20 the exception where you're talking about fuel  
21 switching, so I mean dominant is natural gas or  
22 propane and not electric. So you're talking  
23 about converting from a fuel space heating system  
24 to an electric. And you say the new or complete  
25 replacement space conditioning system "may" be a

1 heat pump. I believe you mean "shall" be a heat  
2 pump, because I mean that "shall" makes it more  
3 clear that you're not going to put in electric  
4 resistance. I think that that's your intent, is  
5 that you can fuel switch, but only to a heat  
6 pump.

7 MR. BOZORGCHAMI: Yeah. That is our  
8 intent. The only time you can go from a gas  
9 heating system to an electric is if the new  
10 system is a heat pump. That's what we're trying  
11 to accomplish.

12 MR. NESBITT: Yeah. I'd say "shall" is  
13 the proper word than "may."

14 MR. BOZORGCHAMI: It's not a requirement though,  
15 it's an exception. So I think "may" is  
16 appropriate there. But I can discuss it and  
17 maybe check with our Legal and see which word is  
18 the more appropriate word.

19 MR. NESBITT: Yeah. I mean, yeah "shall"  
20 I think has more meaning than "should" or "may"  
21 in general.

22 MR. BOZORGCHAMI: Thanks.

23 MR. NESBITT: Then under the performance  
24 approach, you struck out that it can only be used  
25 if you're doing two or more altered components,

1 so that means we can now go back to altering one  
2 component, which was true prior of 2016?

3 UNIDENTIFIED SPEAKER: That's really a  
4 Mazi question.

5 MR. NESBITT: Well, why does Mazi leave  
6 the room?

7 MR. BOZORGCHAMI: Well, I don't think  
8 there was an intention to delete that. I think  
9 we need to look at that one more time, George.

10 MR. NESBITT: Well, I mean I argued  
11 against doing this originally. There had never  
12 been a restriction. Plus, I think, then the  
13 Table 50.2-C -- I think both of these were added  
14 at the same time and fairly last minute. I  
15 forget if it was 2013. I think it was 2013.  
16 I mean, when you do an existing and an  
17 alteration, you take the existing conditions.  
18 That sets your standard budget, basically. And  
19 as long as you make your building no worse, you  
20 comply. I think part of the reason you went to  
21 wanting to alter one or more components was to  
22 maybe try to make it, so you actually had to  
23 improve the building. And I think what we really  
24 want with an existing building is there be some  
25 improvement.



1           And so I think the table, the intent of  
2 the table was to not necessarily allow you to  
3 take default values, based on original code year.  
4 And are things like oh, it's R-0 insulation here  
5 and there and single pane windows. And  
6 essentially a) lie, but b) be compared to  
7 something so efficient, so that you are trying to  
8 essentially make that standard budget tighter,  
9 smaller.

10           So I mean I think that with this there's  
11 certainly no reason to not be able to trade off  
12 one item. I'm not saying a lot of people are  
13 going to trade off only one item. I mean I  
14 suspect it's only when people do more. I think  
15 what happens a lot of times is there is a lot of  
16 electric conversion. Electric resistant water  
17 heaters or people have been putting in heat pumps  
18 or other things that don't technically comply.  
19 And they should show compliance with the  
20 performance method, but they don't actually do  
21 it.

22           So I would say leave the struck out  
23 language and the fact that you have the table, I  
24 think that you're making the building better.

25 MR. BOZORGCHAMI: Thanks, George. We'll take

1 that into consideration.

2 MR. STRAIT: I can speak a little bit to,  
3 I think the intent on striking some of that  
4 language was inherent in doing something that's  
5 below the prescriptive standards. "I'm not going  
6 to comply, prescriptively, therefore I need to go  
7 performance," as you're not meeting that level.  
8 And if you just were installing a component that  
9 does not meet the prescriptive requirements,  
10 that's says it's just not going to meet that  
11 prescriptive requirement. So inherent in the  
12 idea of there being a tradeoff is, "I'm going to  
13 meet some different improvement that gets me back  
14 over that line."

15 The question we were asked fairly often  
16 in 2016 is, "If I've got four different windows  
17 on the house and I want one window to be really  
18 awesome, so I can have another window be really  
19 big," it still trades amongst windows but it's  
20 among different windows. So we're trying to say,  
21 "That's fine. If you want to do something like  
22 that where it's still the fenestration, but it's  
23 different components." We didn't want the  
24 language to imply that that was off limits. But  
25 we can look at restoring that language or seeing

1 how to better phrase, you know when you talk  
2 about what do we mean, even by a single item  
3 trade-off?

4           If we're still improving the building  
5 that's probably good. But if we're just trying  
6 to install a water heater, for example, that's  
7 not as efficient as it really needs to be, and  
8 you could just as easily install an efficient  
9 water heater that complies with the prescriptive  
10 standard we're not saying you get a free pass  
11 just to install something that's better than what  
12 was there, but worse than what you should really  
13 be getting.

14           MR. NESBITT: Right. I agree. And  
15 actually on water heaters, a lot of people  
16 install commercial gas water heaters  
17 prescriptively. There is no real distinction out  
18 in the real world. And I believe typically our  
19 language for a water heater or gas water heater  
20 has been based on an energy factor. Yet,  
21 commercial water heaters are not rated on them.  
22 And certainly they go in on a lot of residential  
23 various change-outs or additions or remodels. So  
24 it's just one of those areas of the code.

25           And the allowing I guess on the water

1 heater, so you're saying you can have an electric  
2 water heater. And I guess, as Nehemiah said yeah  
3 the truth is there are 80 gallon electric  
4 resistant water heaters out there. And no one  
5 pays any attention to the difference between a  
6 residential or a commercial water heater. And so  
7 if the intent is that that is a heat pump water  
8 heater, it should say so, have an energy factor  
9 value that it has to meet or exceed.

10           And honestly I find just that the blanket  
11 requirement, "Oh, just add another kilowatt of  
12 PV," is quite arbitrary. As well as like in the  
13 exceptions for the PV for new construction to  
14 say, "Oh, you have to have a battery storage  
15 system of X capacity." Well, some of these  
16 things are really based on eight kilowatts may be  
17 too big a battery system. And so we've put out  
18 an arbitrary thing. A kilowatt may cover roughly  
19 its annual use, but that depends.

20           I think that's really -- I didn't see  
21 anything else although there was something,  
22 somewhere else I also saw some language about  
23 fuel switching and I'm not sure if it made sense.  
24 Okay, so there's a page 311 G, "altered space  
25 conditioning systems." It says, "Replacement

1 space conditioning systems shall be limited to  
2 natural gas, liquefied petroleum gas, or the  
3 existing fuel type." Does that not conflict with  
4 the exception that says you can convert from a  
5 natural gas propane to a heat pump?

6 (Colloquy)

7 MR. NESBITT: Okay, so the next is the --  
8 all right. And there was something about roof  
9 replacement, but I don't remember at the moment.

10 MS. ALEXANDER: Hi. Meredith Alexander  
11 from the CEC Renewables Division. I apologize if  
12 someone already asked this question before lunch.  
13 I didn't know you guys were so far ahead. I was  
14 wondering if there was going to be a separate  
15 presentation or opportunity for discussion on the  
16 document that you posted to the docket with the  
17 agenda, which is the E3 Cost Effectiveness Report  
18 on the PV requirement.

19 MR. BOZORGCHAMI: Pretty much that  
20 discussion has already happened, but we could  
21 have that offline if you like.

22 MS. ALEXANDER: So there was a workshop,  
23 already?

24 MR. BOZORGCHAMI: Yeah. There was a  
25 workshop. Mazi, actually Mazi Shirakh would be

1 the best person to talk -- you to communicate  
2 that way.

3 MS. ALEXANDER: Okay. Thanks. So  
4 nothing on the published report?

5 MR. BOZORGCHAMI: Not for this one. No.

6 MS. ALEXANDER: Okay.

7 MR. WICHERT: There's a couple of  
8 comments on line. Actually, we will --

9 MR. STONE: There's a small typo that can  
10 make a big difference. Well, now I've got to go  
11 back to the right one. There's a section, well  
12 it's under the performance approach in (a) in  
13 the -- It says, "The altered components shall  
14 meet the applicable requirements in Sections 110  
15 through 110.9, Sections 150.0(a) through (n) and  
16 Sections 150.0(o) through (q). Well, there's  
17 nothing between (n) and (o), so I was looking at  
18 what (n) is. And I think what you meant in that  
19 first one is an (m), because (n) would require  
20 them to put in piping and gas piping and et  
21 cetera for a replacement water heater. And  
22 that's I'm sure not what you wanted to do.

23 MR. BOZORGCHAMI: Thank you. You're right.

24 MR. WICHERT: Let's go ahead and go to Christine.

25 I'm going to unmute you now. Go ahead and state

1 your name and affiliation.

2 MS. TAM: Can you hear me?

3 MR. ROY: Yeah, we can hear you.

4 MS. TAM: Okay. Hi. This is Christine  
5 Tam with City of Palo Alto. I also missed the  
6 discussion before lunch. I thought we would  
7 start with the prescriptive options in the  
8 afternoon.

9 So my question is regarding the exception  
10 for the complete replacement of space  
11 conditioning systems, Section 150.2(b)1C. So for  
12 the exception, if the fuel type of the replaced  
13 heating system was natural gas or liquefied  
14 petroleum gas, the new replacement space-  
15 conditioning system may be a heat pump. Can you  
16 clarify that maybe under what criteria can it be  
17 a heat pump or cannot be a heat pump? Is that  
18 discussed anywhere else in these documents?

19 MR. ALATORRE: Hi, Christine. This is  
20 Mark Alatorre, CEC staff. There's no criteria  
21 for prohibiting a heat pump from being installed  
22 under that exception. So anybody who has an  
23 existing gas furnace and wants to switch that out  
24 for a heat pump, they can. That's what we're  
25 trying to accomplish with that exception. It's

1 not restricted by climate zone or anything else.

2 MS. TAM: So no minimum HSPF  
3 requirements?

4 MR. ALATORRE: Well, I mean they have to  
5 comply with the federal minimum, but --

6 MS. TAM: But they have to meet the DOE  
7 minimum?

8 MR. ALATORRE: Right.

9 MS. TAM: Okay. And I know we're only  
10 talking the 2019 Title 24. Is this something  
11 that the CEC staff would consider for the current  
12 code cycle for alterations and additions to  
13 existing buildings?

14 MR. ALATORRE: It's kind of hard to make  
15 it change. I mean, currently the requirement is  
16 for that type of fuel switching to go with the  
17 performance approach. But we're trying to make  
18 an avenue for that to be done prescriptively  
19 under 2019.

20 MR. STRAIT: Oh, actually I can --

21 MR. BOZORGCHAMI: Do you understand?

22 MR. PENNINGTON: So, you know, we have  
23 had compliance manual information that reported  
24 on equivalencies that we determined. And  
25 something like that might be possible. So I



1 think we should talk about it.

2 MR. STRAIT: Well, actually I can say we  
3 do already have published that equivalency table  
4 that people can use for a simplified approach to  
5 compliance.

6 MR. HOLLANDER: Water heaters, for water  
7 heaters. We're talking about furnaces.

8 MR. STRAIT: So we should be able to do  
9 something like that for furnaces if that's what's  
10 being requested. The treating it as "a  
11 prescriptive option," there's more language in  
12 our code that applies when you talk about what a  
13 prescriptive option means. It's part of the  
14 standard design building, all those sort of kind  
15 of thing happens. But if you're really talking  
16 about somebody just being able to take a  
17 simplified approach and not have to model the  
18 building in order to install that equipment, I  
19 think we can do that.

20 MS. TAM: Okay. Yeah, we can follow up later.

21 Thank you.

22 MR. PENNINGTON: Thanks, Christine.

23 UNIDENTIFIED SPEAKER: (Indiscernible)

24 MR. STRAIT: Oh, I'm not committing that  
25 we will find a way. I think we can find a way.

1 I think it's possible. (Laughter.) To be very  
2 clear.

3 MS. TAM: Well actually, we can talk  
4 about this more. But this is something that Palo  
5 Alto and SMUD has been working with TRC and we've  
6 been doing a managing modeling study to find the  
7 equivalencies. And we do have some results that  
8 we would like to share with the CEC at some point  
9 soon.

10 MR. STRAIT: Sure. We'd like to follow up  
11 with you on that.

12 MS. TAM: Okay. Thank you.

13 MR. WICHERT: Joe, I'm going to unmute  
14 you now. Go ahead and state your name.

15 MR. CAIN: Thank you. Joe Cain, with  
16 Solar Energy Industries Association. I  
17 understand that earlier today, there was some  
18 conversation about PV or renewables with  
19 additions that the Commission had considered it  
20 and has decided not to put in a PV requirement  
21 for additions and alterations.

22 The question I might ask is, is there  
23 some upper threshold, or perhaps it should be  
24 considered. For instance, from my building  
25 department experience know I had cases where

1 there was some threshold in which a whole  
2 building had to be brought up to current codes,  
3 for instance exceeding a 50 percent cost  
4 threshold or a 50 percent floor area threshold.  
5 And so that was a way of bringing older buildings  
6 up to compliance with current standards. And I'm  
7 talking about other than energy standards right  
8 now.

9           But so I guess I'm asking a question  
10 about is there some point where the Commission  
11 should consider triggering a PV requirement? I  
12 mean if a residential addition doubled the size  
13 of a house or tripled the size of a house, is  
14 there some point where it makes sense that that  
15 thing is behaving more like a new residence that  
16 perhaps a PV requirement should be triggered.  
17 Or the second part of that might be maybe I want  
18 to do some addition or alteration to an existing  
19 home that say really opens it up with some new  
20 glazing or fenestration products and with an  
21 option of using PV to justify more architectural  
22 freedoms in the design, so it's a kind of two-  
23 part question.

24           MR. PENNINGTON: So this is Bill  
25 Pennington, to take a shot at your question. So

1 what you were describing as happening does -- you  
2 know is part of some local governments'  
3 ordinances that they have even varying thresholds  
4 on when requirements for newly constructed  
5 buildings apply to change-outs or major  
6 alterations. So that's a jurisdiction they have  
7 to decide that.

8           We have never considered sort of applying  
9 newly constructed requirements to an addition  
10 bigger than X. We never had any requirements  
11 like that in the past. Our intention is to stay  
12 focused on getting PVs, ZNE, battery storage,  
13 demand flexibility, all of that stuff up and  
14 working well for newly constructed buildings this  
15 cycle. And we can look at additions and  
16 alterations in a future cycle.

17           MR. CAIN: Thank you.

18           MR. BOZORGCHAMI: Are there any more  
19 comments online?

20           Okay, if there is none, we're going to go  
21 into the joint appendix, it's part of the  
22 Reference Appendix.

23           MR. STRAIT: Okay. I'll be presenting  
24 the first few of these and then Danny Tam will be  
25 presenting the back half. So and as before, I'm

1 going to move fairly quickly through this.

2           So first, JA7 data registry requirements.  
3 There's work on the revisions JA7 that are in  
4 progress. They are not shown in the current  
5 language we've released. But they will be posted  
6 for review prior to the beginning of the 45-day  
7 comment period, so they just have a little bit of  
8 internal development. We didn't want to hold up  
9 the entire pre-rulemaking discussion just for  
10 this one piece, but we are looking at changes  
11 here.

12           As noted on the slide JA7.7, the data  
13 exchange requirements will be updated and  
14 clarified. And then JA7.8, the date registry  
15 approval procedures will be updated and  
16 clarified.

17           And JA9, the approval procedures for data  
18 transmittal services between data registries and  
19 cloud-based data services, such as those used by  
20 diagnostic tool manufacturers will be added. We  
21 know this is something we've been asked rather  
22 than having to pull up this information and key  
23 it by hand into a different screen, if it can  
24 automatically be uploaded we'd like to facilitate  
25 that. Certainly, we know that bit of fat finger

1 error is something we can completely eliminate if  
2 we do so.

3           Okay. Yeah, so but we are -- yes, sorry.

4           (Colloquy)

5           MR. STRAIT: And yeah, so let me finish  
6 this topic. And then the data transmittal  
7 procedure and alternative keyboard input for  
8 information completing registering Title 24 Part  
9 6 compliance documents, so that's something we  
10 haven't done and I wanted to get that out of the  
11 way.

12           I'm going to actually switch screens and  
13 share my screen here for one change that we're  
14 making. So we've got two fairly small changes in  
15 JA1 and JA2. But they have a big effect on the  
16 number of pages of text that are in the  
17 appendices.

18           JA1 has a lot of definitions that are  
19 restated from Part 6. And the intent at the time  
20 was to have one collection of all of the  
21 definitions that someone would need to know about  
22 or be aware of, in order to comply with the  
23 standards as a whole.

24           But what we found is there were some  
25 places where the two definitions, the one in Part

1 6 and the one in the Joint Appendix, were  
2 starting to wander away from each other, where  
3 one would get updated and the other wouldn't. Or  
4 they'd be very closely similar terms that really  
5 should just be a standard term.

6           So what we've done and what we're  
7 proposing in this code cycle and we'd like your  
8 feedback on, is that we are removing from the  
9 Joint Appendix 1, the definitions that are  
10 redundant with the ones in Part 6. We simply  
11 say, "Go look at Part 6 for these definitions."  
12 Or, "Here's the ones that are in addition to the  
13 those in Part 6."

14           For JA2 we're actually facilitating,  
15 we're making a change to facilitate the use of  
16 a -- oh, this thing's going to get in the way of  
17 my ability to look at my tabs -- a GIS tool for  
18 determining what climate zone a building is in.  
19 So the changes are just two things. One, it  
20 specifies that either you can use the actual  
21 metes and bounds determinations as what are  
22 represented on the screen right now, and what is  
23 shown in the document that we have posted online.  
24 Or you can use -- a building department can use a  
25 single climate zone for a given zip code. This

1 gives building departments the ability to operate  
2 in the same way they are right now. Or if folks  
3 would like to use this tool instead, you can  
4 literally just type in an address or a location  
5 as a little lat/long in case you don't have  
6 streets or addresses in yet and be shown exactly  
7 where you are, relative to these boundaries.

8           In addition, we are pulling out the table  
9 of climate zones, by zip code. We will still be  
10 maintaining that table. We will still make it  
11 available, but keeping it in regulatory language  
12 had a bit of a problem. Those zip codes change  
13 regularly and not on a three-year cycle. So  
14 we've always had to have an updated version of  
15 that table on our website that was not the  
16 official adopted version. That created some  
17 confusion. So we're going still have that table.  
18 Building departments can still use that table.  
19 It's no longer regulatory, so we don't have to  
20 worry about conflict when we have to change our  
21 update information in that table.

22           And in addition, we can put this on our  
23 website and let somebody -- let's type in my home  
24 here. Now, see so it's going to pop me right  
25 there. Also, now that you know where I live,



1 please don't try to kill me. (Laughter.)  
2 So you can see that it actually highlights the  
3 boundaries I am in. It'll tell me that I'm in  
4 Climate Zone 12. It'll show how close I am. You  
5 can see my house, in particular is a good  
6 example, because it's very near to this boundary  
7 here. But we think this will help with  
8 compliance. It'll make it easier to determine  
9 some of these things. It'll make it easier on  
10 building departments to look this up. And so we  
11 needed to make the change to the table to allow  
12 us to do that. Under the 2016 language, because  
13 you are required to use the table, if there was a  
14 difference between these, this actually can't be  
15 used. It might give you inaccurate results.  
16 So also this tool, we don't have it publicly  
17 available yet, because we don't want people  
18 bringing this in and walk into the building  
19 counter and starting arguments. So we have it.  
20 It's internally deployed. We can flip the switch  
21 on it once the code is adopted, but until that  
22 point, we can show it to folks, but we really  
23 can't make it available. Again, just we don't  
24 want to make the City of Davis guy behind the  
25 counter's life hell.

1           And obviously, if there are any questions  
2 about this software tool or this change, you can  
3 talk to us offline, you can come to me after the  
4 workshop. I'm happy to walk people through some  
5 of that stuff.

6           So getting back to our presentation. So  
7 after that diversion we're in JA8. We've  
8 actually made several changes to update JA8 and  
9 align it with current federal and industry  
10 standards. The ones I listed on the slide here  
11 are the lumen maintenance and rated life tests.  
12 We have updated to point to the current ENERGY  
13 STAR tests and not have so much encapsulating  
14 language around them. We want folks that make  
15 those ENERGY STAR tests can just straight up use  
16 that to also show compliance with us.

17           NEMA has developed a standard for  
18 flicker. This is NEMA 77. We wanted to make  
19 sure to include NEMA 77 as an option. We're  
20 keeping both it and JA10 available. In part,  
21 this facilitates folks that have already  
22 performed the JA10 testing under 2016. And right  
23 now, the standard that we're proposing if you use  
24 NEMA 77 is to have a PST and an SVM no greater  
25 than 1.0, because that ensures that the

1 performance is no worse than except in -- it  
2 basically is no worse than what we have currently  
3 on the books.

4           We've removed dimming as a requirement  
5 for JA8. As dimming is no longer required for  
6 all areas in a residential dwelling. So this is  
7 going to make it easier for some products to get  
8 onto the JA8 list.

9           We've removed Du'v' as a requirement.  
10 We've already got this ANSI C78.377. We've  
11 already got the quadrangles and the ellipsis that  
12 people are familiar with. Initially, we wanted  
13 to draw that tighter circle around it to ensure  
14 that when somebody went to Home Depot and bought  
15 lamps that were a color temperature, even if they  
16 were from different manufacturers they wouldn't  
17 look like different shades, once they were  
18 installed in the home. But what this has meant  
19 in practice when we spoke to some manufacturers,  
20 is that they had to comb their own inventory,  
21 because the natural variation in products out of  
22 the same assembly plant, the same run, might put  
23 them outside of the very tight range that we had  
24 specified. So we don't want to hamper that kind  
25 of a marketplace. We don't didn't want that

1 unintended consequence.

2           Oh, I see there's a comment from somebody  
3 that's asking what they can do to comment. We'll  
4 get to comments at the end of the section and we  
5 can help you even if you are having trouble with  
6 the interface. Not a worry there.  
7 So that's a change.

8           So we've also aligned color rendering  
9 requirements with Title 20. Title 20 devices  
10 must meet Title 20 CRI requirements. This was an  
11 interesting case where, because the Title 20  
12 rulemaking occurred after ours, and received  
13 different public commentary than ours, their  
14 procedure for determining CRI was a little bit  
15 different than what we had determined would be  
16 appropriate for our standard.

17           This brings them into alignment, so that  
18 if you are meeting that Title 20 specific  
19 specification, you don't have to separately meet  
20 a Title 24 specification. For everything outside  
21 of the Title 20 regulated LED lamps, it's the  
22 same CRI 90 and R9 of 50 that has been in the  
23 2016 Code just for consistency. And also for  
24 simplicity of application.

25           We've reduced power factor requirements

1 to 0.7 for low wattage devices. We're actually  
2 looking at whether it might be worth having this  
3 just for the low wattage devices or generally.  
4 Because we know that for example Title 20 has a  
5 0.7 power factor requirement. So we'd like your  
6 comments on that.

7           And we've allowed testing start times  
8 from standby where the standby state consumes no  
9 more than 0.2 watts. That is from what we would  
10 call an off-like standby mode. This is a request  
11 from several manufacturers of advanced types of  
12 lighting, a lot of your color shifting lighting  
13 and programmable lighting, where if you're going  
14 completely from powered off, they have a boot up  
15 procedure that they through before they activate  
16 the lighting. But if there's even a trickle of  
17 power going to the device they can just grab  
18 those settings instead of having to confirm  
19 everything and put the lighting on at that level.  
20 So we wanted to at least enable that when we're  
21 not opening the door for always on types of  
22 devices. So that's what we're doing for JA8.  
23 In JA11, I'm going to have Danny come up and talk  
24 about that.

25           MR. TAM: Hi, Danny Tam, Building

1 Standards Staff again. JA11 is a brand-new joint  
2 appendix that describes the minimum qualification  
3 requirement for battery storage systems. So when  
4 you take the value storage credit and the  
5 performance or meet the exception, these systems  
6 have to meet these minimum performance  
7 requirements.

8           So some of the basic minimum performance  
9 requirement is it has to be at least a capacity  
10 of 6 kilowatt hour, continuous charge/ discharge  
11 rate of at least 4 kilowatt, round-trip  
12 efficiency of at least 85 percent. And finally  
13 after 4,000 cycles it should hold 70 percent of  
14 the initial charge.

15           Some general control requirements, the  
16 battery storage should be able to be remotely  
17 controlled and programmed. It should be  
18 programmed to first meet the load of the  
19 building. Also, and then you can have the  
20 capacity to discharge back to the grid. During  
21 power failures it should automatically switch  
22 between backup and program mode.

23           Also, if the battery has a manual backup  
24 mode we want it to automatically switch back to  
25 program mode after a certain period. That's an

1 example like if a hurricane's coming, you want to  
2 set it to backup mode to hold the charge. We  
3 want it to automatically switch back after a  
4 certain period. We don't want it to just stay in  
5 backup mode, because it kind of defeats the  
6 purpose of the load shifting capability of the  
7 battery.

8           So under CBECC there is different control  
9 you can pick. So to qualify for basic control,  
10 it's really simple. The battery should charge  
11 when the PV production is greater than the load  
12 of the dwelling. And it should discharge when  
13 the PV production is less than the load of the  
14 dwelling. And to qualify for advanced control,  
15 the battery should be programmed to charge only  
16 during the off peak hours and discharge during  
17 the peak hours.

18           So we made some changes after we posted  
19 the document, so I just wanted to highlight some  
20 of the changes. The biggest one is probably 70  
21 percent after 4,000 cycles. Also, we strike the  
22 language about allowing the occupant to program  
23 the periods. There's some pros and cons about  
24 that. Right now, we're striking that. And also,  
25 instead of "may have the capacity" the battery

1 "shall have the capacity to discharge back to the  
2 grid.

3           And this is a brand new document that we  
4 definitely want feedback from the industry to  
5 make this a better document. Okay.

6 JA12 is another new joint appendix that outlines  
7 the minimum qualification requirements for PV  
8 systems. When you read the language, it might  
9 look a little familiar. We borrowed a lot of  
10 language from the NSHP Guidebook.

11           So system orientation, the systems with  
12 strings has to be within 110 to 270 degrees from  
13 true north. And for shading you either have to  
14 meet some minimum shading criteria or you have to  
15 specify and document the shading characteristic  
16 using a solar assessment tool that's like SunEye,  
17 and it has to be documented.

18           Some general system monitoring  
19 requirement. We want the occupant to be able to  
20 monitor the system performance. So we want some  
21 kind of monitoring capability both at the  
22 dwelling, physically at the dwelling and  
23 remotely. It should provide information such as  
24 the current kilowatt production: a running daily,  
25 monthly, yearly total.



1           Some system performance requirement for  
2 CFI orientation, 150 to 270. It has to produce  
3 at least 1,450 kilowatt hours per nominal  
4 kilowatt. And from 110 to 149 degrees has to be  
5 a 1,600 kilowatt hour per nominal kilowatt.  
6 That's it for the JAs. We are open for comments  
7 and questions.

8           MR. NESBITT: George Nesbitt, HERS Rater.  
9 So on JA1 absolutely remove redundant  
10 definitions. I guess, so but what that leaves in  
11 JA1 is that only definitions for things that come  
12 up in the anything other than the standards, Part  
13 6. So anything that's in appendices, alternative  
14 calculation manual, that kind of thing?

15           MR. STRAIT: The initial pass that we  
16 made is we simply compared all the definitions  
17 that were in JA1 to the definitions in Part 6 and  
18 removed any from JA1 that were also present in  
19 Part 6. Ideally the remainder are terms that are  
20 not used in Part 6, but are used in the joint  
21 appendices since they do go into a little more  
22 detail, for example having all the HERS  
23 procedures.

24           MR. NESBITT: Right.

25           MR. STRAIT: But there might be somewhere

1 that's not the case. So if you spot one that  
2 that might be the case I would like to know about  
3 it.

4 MR. NESBITT: Why not just put all  
5 definitions in one place?

6 MR. STRAIT: We can't place definitions  
7 in Part 6 for terms that don't occur in Part 6.  
8 We're prohibited from doing so.

9 MR. NESBITT: Okay.

10 MR. STRAIT: If we want to put them all  
11 in one place, actually the compliance manuals  
12 would be the best part to say we're consolidating  
13 all the definitions and having a grand list.

14 MR. NESBITT: Right. Yeah. Okay. And  
15 then JA --

16 MR. SHIRAKH: I would actually advise  
17 against it, because it's good to have definitions  
18 in Part 6, because most people don't have the  
19 compliance manuals and the standards and going  
20 back and forth is going to be problematic.

21 MR. BOZORGCHAMI: No, but we can't go  
22 into the manual, because it's not a regulatory  
23 document in the first place. It's an advisory  
24 document.

25 MR. STRAIT: Right, but we can't list a

1 series of terms in there?

2 MR. BOZORGCHAMI: You can. But if you  
3 want to use that term within the standard, it has  
4 to be within the standards itself.

5 MR. STRAIT: Right. So the question is  
6 can we take the definitions -- if I understood  
7 the question right -- can we take definitions  
8 that are in the appendices, and for terms that do  
9 not occur in Part 6, and move them into the  
10 definitions sections in Part 6?

11 MR. BOZORGCHAMI: I don't see the value  
12 to that. I mean there's definitions in JA1 that  
13 has both definitions for the appendices and it  
14 has definitions for Part 6. So to have them in  
15 the manual, I don't see the value there. The  
16 definitions that are in that document is meant to  
17 be used for both of those two documents.

18 MR. STRAIT: Okay.

19 MR. BOZORGCHAMI: But now if there's a  
20 confusion, or there's redundancy, okay take the  
21 one out of JA1 that are pertinent to Part 6 and  
22 leave them in their Section 100.

23 MR. STRAIT: Yeah. That I would agree.  
24 If it's a term that occurs in Part 6, then we  
25 should definitely have it in Part 6.

1           MR. NESBITT: Yeah. It's just as a user  
2 of these things half the battle is knowing where  
3 to look and then having then to look in multiple  
4 places. But I can understand that there are  
5 things you can and can't do. So just I think  
6 just removing the redundancies is a big step  
7 forward.

8           So JA2, I had noticed you had removed  
9 that whole list of like counties and climate  
10 zones. And then on the weather data for the city  
11 you also removed climate zone and you partly  
12 answered my question. I had never realized that  
13 zip codes actually change. I live in Oakland  
14 with a zip code that covers all of Emeryville.  
15 And apparently it used to be part of Emeryville,  
16 but it's part of Oakland and I'm served out of  
17 Emeryville Post Office, but I live in Oakland.  
18 But I can see that a zip code would change, but  
19 what climate zone a county is in or a city in  
20 doesn't change. So --

21           MR. BOZORGCHAMI: But if you take Solano  
22 County, for example, because Solano County is  
23 separated in multiple climate zones. Even Orange  
24 County per se, you've got three climate zones  
25 going through there. So you can't base your

1 climate zone based on a county or in that matter  
2 in cities too. Because if you're looking at the  
3 example of Vallejo. Vallejo is divided by  
4 Climate Zone 12 and I think 3 --

5 MR. NESBITT: 3, 12 and --

6 MR. BOZORGCHAMI: Yeah, so it has to be  
7 either by climate zone or the way it just seems  
8 it looks very accurate and very good is the way  
9 it appeared when we started using the GIS system.

10 MR. NESBITT: Okay. Yeah. I mean,  
11 having a list is easier than having to go online.

12 MR. BOZORGCHAMI: Well, you could go  
13 online and print out the climate zones by zip  
14 code and slap it on in a folder in KAO (phonetic)  
15 if you need to, George.

16 MR. NESBITT: Yeah. No, I mean if you're  
17 at least maintaining an updated list, so when  
18 things do change, that's good.

19 So JA11, the battery storage systems.  
20 For one, I would remove a minimum KW size. If  
21 we're talking multifamily, especially, or a very  
22 small house, a small system, the size of the  
23 battery pack will depend on your consumption and  
24 the size of your PV system and what your goal is  
25 and/or what the rules are. So to say a minimum

1 of 6 just doesn't seem necessary.

2 MR. SHIRAKH: But your concern is for  
3 multifamily?

4 MR. NESBITT: My concern is that you'd be  
5 forcing people that -- essentially there are  
6 times you're going to force people to buy systems  
7 that are more expensive and larger than they  
8 need. And it really is --

9 MR. SHIRAKH: And 6 kilowatt is a no  
10 brainer for a single family. It may be an issue  
11 for some smaller multifamily.

12 MR. NESBITT: Smaller houses or  
13 multifamily, absolutely. And then there's a  
14 difference between manufacturers, Enphase which  
15 makes a modular system. It's like 1.4 whereas a  
16 lot of systems are 8 or 10. But you --

17 MR. SHIRAKH: But you've got to have some  
18 minimum. You can't just not have it, but we may  
19 want to think about different minimums for single  
20 family versus multifamily.

21 MR. NESBITT: Right. At least try to  
22 come up with a minimum that is small enough that  
23 it's not a problem.

24 Then I think perhaps you need to think  
25 about the difference between battery technology

1 and what someone is trying to do with a battery  
2 system.

3           So the battery system that you use on an  
4 off-grid house is completely different than what  
5 we are now using with grid-connected houses,  
6 although there are people who have invested in  
7 battery backup systems that are more like an off-  
8 grid. So it's old lead acid batteries. And so  
9 different battery technology is appropriate for  
10 different uses, whether you're trying to use it  
11 for a backup system versus a grid-tied system.

12           MR. SHIRAKH: For those criteria that he  
13 showed, they were all meant to emphasize that  
14 this was not meant for backup. It's for daily  
15 cycling.

16           MR. NESBITT: Right. Yeah, and there may  
17 be different discharge rates depending on those,  
18 chemistry and what it's for. And so just don't  
19 create a requirement that can't be met or can't  
20 be met by certain types of systems.

21           Then the other thing is my understanding  
22 is I think there's really only two ways, like  
23 Enphase there's only two ways I think their  
24 batteries are set up to work. One is, I believe  
25 a no net export to the grid, because you have

1 states like Nevada and I think even Hawaii does  
2 not allow net exports now. You also have the  
3 newer, smarter Rule 21 inverters, I think also  
4 will clip output and not do export. But then the  
5 other, I think basic function, is to absorb the  
6 excess of the PV, reduce your net export for  
7 self-consumption later.

8           You have three use types. I think you  
9 basically describe what I just said is I think  
10 basic. And well you could consider the demand,  
11 although I guess there are times -- and perhaps  
12 SMUD and perhaps others have not so much with  
13 residential systems -- where they can control a  
14 battery.

15           But your advanced battery storage system  
16 operation mode, you're saying you charge it off-  
17 peak and then you discharge at peak. The thing  
18 is if you're talking about off-peak, if you're  
19 meaning you're charging it overnight and  
20 discharging it late in the afternoon in the  
21 evening, my understanding is according to CPUC  
22 rules in general is that's what they call  
23 arbitrage. And you're not supposed to do that.  
24 So in theory, the batteries are only supposed to  
25 be charged by excess PV and not by the grid as a



1 means of purely charging with cheap electricity  
2 and then discharging it at price.

3 MR. SHIRAKH: So off-peak here means  
4 during the day, middle of the day, from PV. It  
5 doesn't mean from the grid.

6 MR. STRAIT: Also the arbitrage that's  
7 being referred to by the CPUC, to my knowledge,  
8 is when you are discharging to sell back that  
9 energy. If you are charging the battery in the  
10 evening at the low power price and then  
11 internally using that energy during the day,  
12 during peak, but not shipping that exporting  
13 during the peak, that that wouldn't run afoul of  
14 those rules. So the arbitrage rules are about  
15 exporting.

16 MR. SHIRAKH: So I think your comment is  
17 sort of valid, in that is confusing most people.  
18 They see off-peak, they think midnight.

19 MR. NESBITT: Right.

20 MR. SHIRAKH: But I mean, if you look at  
21 the cost of electricity it's actually lowest in  
22 the middle of the day. That's what we meant, but  
23 I agree it's not that clear.

24 MR. NESBITT: Well, all the new time of  
25 use rates it's not lowest in the middle of the

1 day, but it's not as high as the evening. And it  
2 varies between from the utilities.

3 I just want to make sure that what we're  
4 getting credit for in the code and what you're  
5 saying is actually a) allowable according to the  
6 rules in the market place, and there's equipment  
7 and it's set up and designed to do a certain  
8 thing. And that we're not assuming something  
9 differently where we come up with a credit for an  
10 operational mode that you cannot operate it in  
11 and are not supposed to.

12 MS. CALLAHAN: Sue Callahan, LEDVANCE. I  
13 want to go back to JA8. And this is one of those  
14 unintended consequence questions. In JA8.3 tests  
15 to be performed on sample sizes, you point to the  
16 reference test procedures, some of which are DOE  
17 procedures. DOE doesn't put the sample size in  
18 the test procedure. So do you want me to only  
19 test one, or do you want me to test to the sample  
20 number in 10 CFR 429?

21 MR. STRAIT: Well, I think we can update  
22 the reference to point to TN CFR 429. Our intent  
23 to say follow DOE rules is that sample size.

24 MS. CALLAHAN: That's what I though  
25 and --

1 MR. STRAIT: Okay.

2 MS. CALLAHAN: -- that's not necessarily  
3 where your pointing.

4 MR. STRAIT: Okay.

5 MS. CALLAHAN: In the testing, the light  
6 source types that you've listed with the  
7 exception of HID lamps, there are now currently  
8 available DOE test procedures, rather than the  
9 IES procedures though you'll need some sort of  
10 work-around for retrofit kits, because DOE  
11 doesn't believe they exist. You know how they  
12 can be.

13 MR. STRAIT: Yeah.

14 MS. CALLAHAN: The other question that I  
15 have is DOE has dropped its NVLAP certification  
16 requirement.

17 MR. STRAIT: We could consider doing so,  
18 as well, but we see value in the NVLAP. So even  
19 if DOE is no longer requiring it, it's still a  
20 program that exists is my understanding.

21 MS. CALLAHAN: Well, let's just say part  
22 of industry was as much surprised when DOE  
23 dropped it, because we believe that there was  
24 value in it. At least in larger companies they  
25 had invested in those types of certified

1 facilities. And no, we're not necessarily giving  
2 up that, but there is a cost associated with that  
3 and it is no longer -- DOE made a point of  
4 changing the requirement as a reduction of test  
5 burden.

6 MR. STRAIT: Sure. I can say that where  
7 we pointed to NVLAP was in part -- we were  
8 looking at our Appliance Regulations. And our  
9 Appliance Regulations require that test  
10 laboratories become approved by us. And we said  
11 as an alternate to that, let's look at what's  
12 already going on out there, that provides that  
13 same level of assurance and same level of  
14 accountability. And so we were able to identify  
15 that that NVLAP certification provides that  
16 quality assurance, provides accountability. And  
17 thus we found it easier to point to that, then to  
18 create an approval structure internally for  
19 laboratories testing to Title 24.

20 MS. CALLAHAN: Well --

21 MR. STRAIT: That's just is the history.

22 MS. CALLAHAN: I was going to say DOE has  
23 settled on ILAC. It's not that they just left it  
24 wide open. And I'm not trying to push this in  
25 any particular direction, but just to point out

1 that the DOE requirement is ILAC.

2 MR. STRAIT: We would be interested in  
3 hearing more public commentary from more industry  
4 stakeholders on that, certainly. We hadn't  
5 thought about changing the NVLAP requirement to  
6 an ILAC requirement. As you said, it was  
7 surprising when DOE did it. So as of yet we  
8 haven't thought about doing so, but we'd  
9 certainly be interested in hearing from industry.

10 MS. CALLAHAN: Okay. Thank you.

11 MR. MCHUGH: Hi, Jon McHugh from McHugh  
12 Energy. Okay, so first off we've only seen this  
13 recently, but the start time test seems to be an  
14 improvement, so it'll be interesting to see what  
15 the rest of the industry thinks. But it looks  
16 like an improvement. Maybe there's some  
17 definition of plateau, but -- yes.

18 MR. STRAIT: The change there isn't in  
19 the follow-up that, DOE issued guidance and our  
20 own previously issued guidance about the fade-in  
21 curve. So we didn't put that out, because that's  
22 not a change from current practice, but --

23 MR. MCHUGH: Great. Okay. Yeah, that  
24 seems like a plus.

25 For the lumen maintenance, are you intending to

1 something? Again, I'm just seeing this, but the  
2 ENERGY STAR, is the idea that you're certifying  
3 at 3,000 hours and then they're supposed to  
4 recertify at 6,000, like ENERGY STAR used to  
5 have? Or is there a -- oh what's the --

6 MR. STRAIT: Our understanding, currently  
7 is that ENERGY STAR provides a 3,000 hour path  
8 and a 6,000 hour path. And we're saying  
9 whichever path you take there are minimum ENERGY  
10 STAR requirements. And it's the minimum rate of  
11 life for ENERGY STAR qualification whether you  
12 take the 3,000 hour path or the 6,000 hour path.  
13 So we're intentionally providing that  
14 flexibility.

15 We're not sure if ENERGY STAR is in  
16 practice, going to require the 3,000 hour, which  
17 used to be an early certification and you were  
18 still intended to conduct the full duration of  
19 the test. Or if ENERGY STAR is intending, given  
20 the Administration's focus on cost reduction, on  
21 allowing a test to be truncated at 3,000 hours.

22 MR. MCHUGH: Okay. Thank you. And the next one  
23 has to do with -- we already talked about color,  
24 earlier, so there's no reason to repeat comments  
25 there.

1           In regards to -- so my understanding is  
2 you can still now get a JA8 certification even if  
3 the lamp is not dimming. Is that right?

4           MR. STRAIT: That's the proposal for  
5 2019.

6           MR. MCHUGH: Yeah, and as part of that  
7 then is will there still be flicker tests?  
8 Because I know like for instance some -- I think  
9 it was ENERGY STAR had if it was dimming you  
10 needed the flicker test, but didn't require it  
11 for a static lamp. Is the intent to require a  
12 flicker test still?

13          MR. STRAIT: The intent is for that  
14 language to remain in effect. That is a lamp  
15 that is not dimming would test at 100 percent. A  
16 lamp that is dimming will additionally test at 20  
17 percent.

18          MR. MCHUGH: Okay. And just if you're  
19 thinking about dimming versus non-dimming,  
20 looking back at the 2016 Standards why we had  
21 requirements for dimming was the customer  
22 dissatisfaction when people put non-dimming lamp  
23 in a dimming socket. And so the thought was that  
24 maybe someone moves the lamps around in their  
25 house, then they've got a problem of either fire

1 or early failure. And so that's sort of the  
2 basis, so I just thought I'd give that  
3 background. I assume you guys have thought about  
4 that.

5 MR. STRAIT: So the other issue that we  
6 ran into though, is that if we're requiring a  
7 dimmable lamp be installed, there's actually not  
8 a dimming control on that circuit. Then in  
9 theory we're requiring an additional cost where  
10 there's no realized benefit. Now, market  
11 research shows that there is dimmable and non-  
12 dimmable lamps at equivalent prices. But we  
13 still didn't want to put ourselves at risk of  
14 being accused of requiring something that wasn't  
15 cost effective.

16 MR. MCHUGH: And then the other thing  
17 about the -- you're looking at referencing NEMA  
18 77, that standard's non-ANSI, so it hasn't gone  
19 through a public process.  
20 And in terms of replacing the use of JA10 I think  
21 a fairly significant issue is that when we  
22 regulate things in Title 20 and there's a test  
23 method, one part of the benefit has to do with  
24 the actual requirement. So right now we've got  
25 the requirements for reduced flicker operation,



1 which is less than 30 percent amplitude  
2 modulation for frequencies less than 200 hertz.  
3 But the other part, that's also very significant,  
4 has to do with the market transformation effect  
5 of having a rating where you can actually compare  
6 between different lamps and compare to different  
7 standards. The only ANSI standard around flicker  
8 currently is IEEE PAR 1789. That's gone through  
9 a rigorous public review process and as part of  
10 that ANSI process it has a balanced committee, so  
11 there are people with different levels of  
12 expertise.

13           So the current JA10 database that we  
14 have, or actually JA8, there's 9,900 products in  
15 that database. And it has not just whether or  
16 not it passed or failed or a single number, but a  
17 description of the amplitude modulation in a  
18 format that is directly comparable with the IEEE  
19 Standard. And so I think that there is actually  
20 a market transformation and information that  
21 provides the opportunity for people to select  
22 better products.

23           Back in 2016, when we proposed this  
24 standard we received comments from researchers  
25 who had worked on the issue associated with

1 headaches, associated with magnetically ballasted  
2 florescent lighting. And essentially back then  
3 we didn't have as much information, so we set our  
4 standard at the flicker level that's essentially  
5 comparable to the amplitude modulation for  
6 magnetically ballasted lighting.

7           And what's being proposed currently is  
8 SVM of 1, which relatively comparable, but it  
9 doesn't give anyone any information about how  
10 close can I get to the actual recommendations of  
11 that IEEE Standard? So to me that's a fairly  
12 significant environmental impact and  
13 consideration.

14           MR. STRAIT: Could you clarify in what  
15 way it's an environmental impact?

16           MR. MCHUGH: So for instance, the  
17 environmental impact is that consumers and  
18 designers can differentiate between products of  
19 different amplitude modulations. So that for  
20 instance, for populations that are sensitive to  
21 flicker such as folks that have migraines and  
22 that sort of thing; and it's something like 5  
23 percent of the male population and about 15  
24 percent of the female population in the United  
25 States. If someone wants to select products that

1 they appear to have less impact on those  
2 populations, they don't have that same  
3 information from the NEMA 77 Standard.

4 MR. STRAIT: So just to make sure I  
5 understand the comment, that means that a lower  
6 PST score or a lower SVM score that would  
7 indicate that they have less flicker amplitude is  
8 not sufficient at preventing harm? That somebody  
9 that needs to select a low SVM or a low PST  
10 product.

11 MR. MCHUGH: Okay. So first off the PST  
12 scores of around visible flicker, and there's a  
13 relationship between PST and low frequency  
14 flicker, which is related to visible flicker.  
15 The PST is not that valuable to the issue of  
16 preventing harm, because those are typically  
17 products that just don't get sold. If they're  
18 visibly flickering, they can't sell the product.  
19 And the PST metric is really more used for people  
20 trying to evaluate the compatibility of dimmers  
21 and light sources.

22 The real issue around these products has  
23 to do with their rectification of 60 hertz power.  
24 So you basically take 60 hertz power and you  
25 rectify it, so you end up with something that has

1 a primary harmonic of 120 hertz. And so that's  
2 the same sort of issue that was found with  
3 magnetically ballasted fluorescents. That you  
4 had the ripple associated with the 60 hertz power  
5 to those lamps.

6 Well, the CASE Team earlier in the  
7 development of the 2016 Standard did some  
8 significant testing of lamps. But more  
9 importantly, we now have 9,900 lamps or products  
10 that have information about their performance.

11 MR. STRAIT: But just to quickly  
12 interject, we do also have an SVM Standard which  
13 applies to the frequencies above the visual  
14 range. That's why there's there both a PST and  
15 an SVM Standard.

16 MR. MCHUGH: Right. The SVM Standard  
17 though, does not give you the kind of information  
18 that you can readily apply to the IEEE standard.  
19 It's a weighted --

20 MR. STRAIT: But in terms of -- I'm  
21 sorry -- in terms of product selection by a  
22 consumer that might be sensitive to flicker, they  
23 could look for a lower SVM score.

24 MR. MCHUGH: Right. But they don't  
25 actually have a direct way of comparing the

1 results of SVM to the IEEE Standard, because the  
2 IEEE Standard is you get a chart that's showing  
3 what are the low-risk areas relative to amplitude  
4 modulation and frequency.

5 MR. STRAIT: Okay.

6 MR. MCHUGH: And the JA10 Standard is set  
7 up to present the data in that format. The SVM  
8 Standard is based on a weighting, so it's a  
9 curve. And it's similar to trying to figure out  
10 what are the sound pressures of sound if you've  
11 already applied the A weighting. A weighting is  
12 useful for certain things, but what you've got to  
13 understand about SVM is that it's a very focused  
14 test. It was a weighting that was based on  
15 looking directly at a rotating disk, directly in  
16 your direct line of view. And it does not  
17 reflect, for instance, flicker associated from  
18 peripheral vision. It does not reflect flicker  
19 associated with phantom array effects.

20 So there's a variety of differences  
21 between the full range of flicker effect and what  
22 is captured in SVM. So I don't think that it  
23 provides as much useful information to the  
24 consumer or designer.

25 MR. STRAIT: Okay. Thank you for the

1 comment.

2 MR. MCHUGH: Yeah. Oh, and one last  
3 thing. During the 2016 Standards between the 45-  
4 day language and the 15-day language, sort of  
5 something kind of slipped in or whatever and it  
6 was kind of too late to change it.

7 And that had to do with the issue  
8 associated with marking. Earlier on, there were  
9 various versions of JA8 floating around. And in  
10 earlier versions of JA8, it had a description of  
11 providing a variety of different markings on the  
12 lamp that included lumens and CRI and these  
13 various things. At the end of that process we  
14 said, "Well, this is just way too much  
15 information to place on the luminaire." And so  
16 it was compressed down to this idea of just  
17 having a single marking, which was JA8 2016.  
18 And then, sort of I think some confusion at the  
19 last minute, then resulted in a situation where  
20 if you are below a certain lamp size you were  
21 exempted from putting on the JA marking. The  
22 purpose of the JA marking was for simple  
23 enforcement in the field. So that someone could  
24 walk up to any fixture, look in the fixture and  
25 if the lamp had JA8 marked on it, it complies.

1 If it didn't have the JA8 mark on it, it didn't  
2 comply. So if you're looking at updating JA8  
3 this would probably be one of the desirable  
4 things to update.

5           Then one other thing, the lamps that are  
6 covered by Title 20 for the GS lamps, (phonetic)  
7 I think they're roughly comparable to the color  
8 quality aspects in Title 20. However, for small  
9 directional diameter lamps or small diameter  
10 directional lamps, I guess it is, there are not  
11 those same color rendering requirements. A key  
12 purpose of the standard was to assure that there  
13 were high quality products in each of these  
14 sockets, so that they would be retained. I would  
15 recommend that for the SDDL products, at the very  
16 least that those retain the CRI of 90 and the R9  
17 of 50, along with the other non-regulated lamps.  
18 Yeah.

19           MR. STRAIT: Yeah, I think we can look at  
20 that. I think the intent is for the language to  
21 specify when there is a Title 20 requirement for  
22 color rendering meeting that requirement  
23 qualifies. If there's not a Title 20 requirement  
24 for color rendering the JA8 requirement for color  
25 rendering applies.

1 MR. MCHUGH: Oh. Okay. So --

2 MR. STRAIT: If it's not --

3 MR. MCHUGH: -- that wasn't clear.

4 MR. STRAIT: If there's an improvement,  
5 yeah.

6 MR. MCHUGH: But that's -- okay,  
7 excellent. Thank you very much.

8 MR. STRAIT: Thank you.

9 MR. SHIRAKH: So before we go online I  
10 just want to make a couple of statements. One is  
11 that we will soon be developing a JA13. We  
12 didn't it today. And what JA13 would have is the  
13 specification for smart inverters. Part of the  
14 2019 Standards, when PVs are installed we would  
15 have this requirements that the inverters must  
16 meet the smart inverter specification. And these  
17 are based on the CPUC decisions on minimum  
18 performance characteristics. And there's a Smart  
19 Inverter Working Group and IEEE working to  
20 develop these standards. We're probably going to  
21 basically repeat those in JA13 and I think Danny  
22 just volunteered to work on this JA13.

23 MR. STRAIT: He's standing at the podium,  
24 so --

25 MR. SHIRAKH: Yeah. And the other point



1 I want to mention is that the PV industry is  
2 being kind of quiet here. But I think for JA12  
3 that has the PV specifications we really want  
4 their feedback on some of the stuff we have in  
5 there.

6 One of them is the requirement -- there's  
7 a lot of reporting requirements in JA12. And  
8 mostly you know, we were thinking whether we  
9 should have third-party HERS verification versus  
10 reporting. And now we're kind of favoring having  
11 this reporting requirement instead of a HERS  
12 verification. We think it brings more value.  
13 But we want to make sure we haven't gone  
14 overboard. The current requirement has both a  
15 hardware on this side reporting capabilities and  
16 a web portal, so we want to know what you think  
17 about that.

18 And also, we have reporting requirements  
19 both on a module level for smart micro-inverters  
20 and at string level for string inverters. We  
21 also want to know what you think about that. So  
22 I just wanted to highlight those because of the  
23 important things we want to make sure are -- and  
24 Bill Pennington has something to say.

25 MR. PENNINGTON: So just adding to what

1 Mazi was saying there's also a strong intention  
2 in JA12 to trying to avoid performance impacts  
3 due to shading. And trying to address that  
4 borrowing from NSHP to a certain extent. What  
5 we're thinking now is that these requirement  
6 would be certified by the installer on a  
7 CF2R kind of basis, rather than requiring a HERS  
8 rating. So again, we'd like to have your  
9 comments on those.

10 MR. WICHERT: So we do have some comments  
11 from online. Tanya, I'm going to go ahead and  
12 unmute you now. Go ahead and state your name and  
13 affiliation.

14 MS. HERNANDEZ: Okay. Hi. This is Tanya  
15 Hernandez from Acuity Brands. I'm assuming you  
16 can hear me.

17 MR. STRAIT: Right, your voice is  
18 actually fairly muddy.

19 MS. HERNANDEZ: So sorry, I'm going to  
20 try and get through this. Can you hear me okay  
21 now?

22 MR. STRAIT: Yes. Yes, this is better.

23 MS. HERNANDEZ: Okay. Thank you. So I  
24 had a question, a both question/comment on JA8  
25 specifically about the I guess the alignment for

1 lumen maintenance testing to the ENERGY STAR  
2 requirements.

3 I think that is the intent, but in  
4 reading it, it appears that there is the 3,000  
5 hour, 6,000 hour language. The requirements for  
6 luminaires are different than the lamps. And so  
7 I just want to make sure that actually the intent  
8 is to follow the ENERGY STAR requirements for  
9 lumen maintenance, not some new requirement or  
10 hybrid. And the reason why I ask is because in  
11 the 2016 Code, there was the exception to go,  
12 basically, with LM-80, TM-21 data as the ENERGY  
13 STAR program allowed.

14 MR. STRAIT: Correct. The language in  
15 JA8, proposed for 2019 should allow folks to  
16 choose whatever test is available under the  
17 ENERGY STAR that's appropriate for their product.  
18 The specific values that we've selected as the  
19 threshold are the lowest values that are  
20 applicable, for both ENERGY STAR sets of  
21 requirements. If there's a way in which we can  
22 improve that language though, I'd be happy to  
23 talk to you offline.

24 MS. HERNANDEZ: Fantastic, thank you.  
25 And then I had a question really about moving the

1 CCT and dimmable out of JA8. I think I  
2 understand the intent back in 150, however I'm  
3 wondering if the simplicity or the effort to make  
4 closets and garages not have to be these premium  
5 light sources. Now, will just create more of a  
6 burden on the inspection piece, because now you  
7 can actually -- according to JA8 you can certify  
8 a source at 8,000 Kelvin if you'd like, because  
9 there's no requirement for it. And now, the  
10 inspector will have to make sure that the CCT is  
11 correct and a dimmable in the right areas.  
12 So that's just a comment or commentary that in  
13 looking at it and I thought, "Aha!" And that's  
14 all my comments. Thank you.

15 MR. STRAIT: Sure. I can say that our  
16 intent is that the mark is still universal to the  
17 fixtures. So the inspector can still look for  
18 the mark on every fixture in the home. And if  
19 the inspector turns on a kitchen lamp and it  
20 comes on at 7,000 Kelvin, then they could  
21 probably say hey, that's not right, without  
22 needing to look at a mark on the back of the  
23 product. So that's our intent. I'm not trying  
24 to be dismissive, but yeah we can definitely talk  
25 about ways in which that can be further improved.

1 MR. WICHERT: Kelly, you are up next.

2 I'm unmuting you now.

3 MS. SEEGER: Hi. Kelly Seeger, Philips  
4 Lighting. Can you hear me okay?

5 MR. STRAIT: Yes.

6 MS. SEEGER: Great. Thanks for the  
7 opportunity to comment. We would specifically  
8 like to comment on JA8.4.6, which is the section  
9 on dimming, reduced flicker operation, and  
10 audible noise.

11 MR. STRAIT: Uh-huh.

12 MS. SEEGER: First we'd like to thank you  
13 guys for recognition and inclusion of NEMA 77.  
14 We think it's a positive development. What we're  
15 interested in commenting on is the limit of 1.0  
16 that's being proposed for SVM, the stroboscopic  
17 effect visibility measure.

18 So, as we know NEMA 77 is not only about  
19 test methods, but also about guidance for  
20 acceptance criteria. And it's the most recent  
21 standard on TOA. It brings together much of the  
22 current research to recommend a method for  
23 quantifying visibility of TLA, Temporal Light  
24 Artifacts. And hopefully, it's the beginnings of  
25 recommendations for broad application.

1           The photometric recommendations within it  
2 and the measurement methods are applicable to any  
3 lighting equipment. And with any control system.  
4 So in looking at the value of 1.0, the value of  
5 1.0 is really the detection threshold for SVM.  
6 That's the value where 50 percent of the  
7 observers would indicate that they see the  
8 effects and 50 percent do not when they are  
9 required to make that choice. So a value of 1  
10 doesn't indicate whether those observers actually  
11 find the observation disturbing. Nor does it  
12 really indicate whether there's any kind of  
13 health-related effect.

14           We also know that some detection of  
15 stroboscopic effect is acceptable, because you  
16 have to have motion in order to see it. So  
17 within NEMA 77 the application guidance for SVM  
18 for indoor application areas is actually a value  
19 of 1.6. And that limit is really the real world  
20 limit. That's the acknowledgement that even if  
21 SVM is detectable under laboratory conditions,  
22 it's not necessarily objectionable in or under  
23 many normal conditions.

24           And at Phillips, we would add that also  
25 mass production LED lamps have been in the market

1 with SVM of 1.6 and we don't have any complaints  
2 that have come back on that at all. So we would  
3 ask that the CEC would consider changing that  
4 proposed value from 1 to 1.6. And if you can't  
5 do that, we would be very interested in hearing  
6 the rationale and better understanding the issue.  
7 And I wanted to also just comment on some other  
8 sort of things in that area, and Jon McHugh had  
9 commented on some of these things. The IEEE  
10 1789, so those proposed limits appear to be  
11 overly strict for many applications, which could  
12 also add unnecessary cost to the electronics in  
13 the LED products. Even some incandescent lamps  
14 don't fall within the low-risk or no-effect  
15 region.

16 I think John did mention the IES is also  
17 working on a TLA document. And we expect that  
18 that's going to be ANSI approved, just in  
19 response to the comment that NEMA 77 is not ANSI  
20 approved. But what we do know is that current  
21 TLA standardization is really being hampered by a  
22 lack of adequate metrics. But there's a lot  
23 going on. And right now NEMA 77 is really the  
24 best we have and that's where the current  
25 research is.

1           So those are my comments.    Thanks you  
2 very much.

3           MR. STRAIT:   Thank you.   Staff did  
4 evaluate the NEMA recommendation, I'm sorry, the  
5 recommendation on NEMA 1.6 of the 1.6 value for  
6 SVM.   And we can talk offline about our rationale  
7 for choosing the 1.0.

8           MS. SEEGER:   Okay.   Thank you very much,  
9 appreciate it.

10          MR. STRAIT:   Thank you.

11          MR. WICHERT:   And we had one last on line  
12 comment from Joe.   I'm unmuting you now.

13          MR. CAIN:   Thank you.   Joe Cain with  
14 Solar Energy Industries Association, commenting  
15 on JA11 and JA12.   I guess I'll start with 11.  
16 And just to let you know that yes, the solar  
17 industry and the energy storage stakeholders, we  
18 have been having a lot of conversations.   JA11  
19 and JA12 have both -- we've been having a lot of  
20 conversations on both of those and we do intend  
21 to provide some guidance and feedback.

22                 And so we don't have anything prepared so  
23 we don't really have consensus on this to deliver  
24 today, but I'll just on the some things that  
25 we've been talking about.   And one is on JA11.



1 We've been talking about definitions. And as you  
2 can imagine there's the regulatory environment  
3 for storage systems has been evolving rapidly.  
4 And so we have a variety of definitions that are  
5 not correlated, one of which is likely to be in  
6 California Residential Code in the intervening  
7 code cycle, because it was developed for the 2018  
8 International Residential Code, which will be the  
9 basis of the 2019 California Residential Code.

10 But even that definition I'm not  
11 particularly fond of, because that definition  
12 reads, "The electrical energy storage system, a  
13 system that stores electrical energy that can be  
14 utilized to power the residential electrical  
15 system for providing backup electrical power,  
16 electrical load shedding and/or electrical load  
17 sharing." So even that, we probably won't be too  
18 fond of and may make some other recommendations.  
19 Other things that we've been talking about, you  
20 have your safety requirements and you've  
21 referenced the UL Standard 1973. 1973 is a  
22 standard for a battery that was originally for  
23 light rails and stationary battery systems, kind  
24 of evolving into these energy storage components.  
25 But that's a battery standard.

1           The system standard is UL 9540 and so  
2 that's the one that will be referenced in the  
3 International Residential Code, therefore the  
4 California Residential Code. So 9540 is probably  
5 the one you're looking at and 1973, I believe, is  
6 imbedded or reference within 9540.

7           A lot of the other conversation that  
8 we've been having has been around the control  
9 requirements. And Francesca made some comment on  
10 that, although still of a general nature, because  
11 we don't have the consensus comments. But again,  
12 you know control requirements and controls  
13 strategies are something that we're still working  
14 on. And again, want to have a real clear  
15 language on basic control, advanced control,  
16 demand response and so on.  
17 I will pause there, on JA11 before I move to  
18 JA12.

19           MR. SHIRAKH: So again, I was going to  
20 get your comments. This is Mazi. I would  
21 appreciate if you get all your comments to us in  
22 writing, so we can read it and then have a chat  
23 with you.

24           MR. CAIN: Yeah, definitely. Okay.  
25 Thanks, Mazi.

1           On JA12, I think a lot of the  
2 conversations we've been having have been around  
3 the shading verification. And we understand  
4 staff has said that a lot of this came out of the  
5 New Solar Homes Partnership. I think that the  
6 context, this is my personal opinion, I think  
7 that the context is a little different when we're  
8 talking about a code required system. And some  
9 of these requirements again, we're having these  
10 conversations and working on these. But one of  
11 the things we would be wanting to pay particular  
12 attention to is kind of the speed and the rapid  
13 deployment aspect of this.

14           I would expect that for production  
15 housing, as we move into more and more  
16 communities that have this as standard, that the  
17 system design of the PV system is going to be  
18 more standardized and shading measurements can  
19 only come after a building is done. So I think  
20 that we will work, again on that language and  
21 work on providing some recommendations.

22           I think that the remote monitoring  
23 capability, I think is becoming very, very  
24 common. So I think that that is probably where  
25 we want to hang our hat. I will make brief

1 mention that we have been contacted by the  
2 California -- pardon me for not remembering the  
3 exact name of the agency -- but I believe it's  
4 weights and measures, which is under the  
5 California Agriculture. But they have taken  
6 interest in the sub-metering and the measurement  
7 and they're working on preparing some future  
8 standard. So some of this proof of performance,  
9 I think is also under development.

10           You had mentioned HERS rating as an  
11 option. And my first reaction to that, and again  
12 this is my personal opinion, my first reaction to  
13 that is not so favorable. Because we may have a  
14 case -- again in the case of rapid deployment we  
15 have the California Solar Permitting Guidebook.  
16 We have California Legislature requiring minimum  
17 amount of inspections and speed of processing.  
18 So I'm a little concerned about things that might  
19 leave someone in the field, you know --

20           MR. SHIRAKH: Joe?

21           MR. CAIN: -- waiting for someone to show  
22 up. Go ahead.

23           MR. SHIRAKH: What I said was we thought  
24 about HERS verification, but we decided we were  
25 going to go with a monitoring graph and not HERS

1 verification. So that's not --

2 MR. CAIN: Okay, great.

3 MR. SHIRAKH: But then my follow-up point  
4 was that I just want to make sure that the points  
5 or the things that we're requiring to be  
6 monitored, we haven't gone overboard by basically  
7 having language that requires output of each  
8 module if you are using micro-inverters, or the  
9 output of each string if you are using the string  
10 inverters.

11 The system that I have at my house, the  
12 reports out of that, I just want to make sure  
13 that the industry agrees with that.

14 MR. CAIN: Yeah. I don't think that was  
15 part of the conversation we had with the other  
16 California agency and our first position is  
17 monitoring of individual panels is overboard. So  
18 yeah, we'll give that particular consideration in  
19 our comments.

20 MR. SHIRAKH: Okay, good. Look at that.  
21 Thanks.

22 MR. CAIN: Great. Thanks Mazi.

23 MR. PENNINGTON: So Joe, this is Bill  
24 Pennington.

25 MR. CAIN: Yes.

1                   MR. PENNINGTON: Coming back to your  
2 comment about the difficult fit, maybe, of doing  
3 post installation measuring of shading  
4 obstructions. We've been thinking about that a  
5 little bit. We appreciate it as an issue. We  
6 understand that this kind of projection analysis  
7 can be done at a planning stage based on  
8 elevations from the builders and expected  
9 location of the panels, using perhaps online  
10 tools.

11                   And I'd like to know what the industry's  
12 views are of doing something like that. Perhaps  
13 enabling just a final check kind of thing as  
14 we're talking about in this proposal that would  
15 conform with that planning stage analysis. So  
16 something like that is what we're imagining. So  
17 if you could advise on that or maybe suggest how  
18 to do something like that?

19                   MR. CAIN: Yeah. I do think it is a  
20 valid question. And I'll work with some of our  
21 designers that have direct experience with that.  
22 One other point I forgot to mention is that  
23 another thing that did trigger some conversation  
24 on our part is the orientation restrictions. And  
25 so I don't have, again a consensus position to

1 speak about today, but it did cause quite a bit  
2 of conversation about the orientation  
3 restrictions.

4 MR. SHIRAKH: So what we have here is --  
5 again as part of our grid harmonization  
6 strategies, we're trying to encourage PVs that  
7 are oriented in a way that helps the grid in late  
8 afternoon. So that means installation between  
9 150 to 270 degrees from true north. And that  
10 also happens to be the range that gives you the  
11 maximum TDV value.

12 If you are outside of that, you're not  
13 going to get the TDV value and also you are  
14 actually aggravating the grid conditions by  
15 having too much generation at times that it's not  
16 needed, so that's why we have -- and we really  
17 don't have a restriction here. Basically we say  
18 in the current language that if you are between  
19 150 and 270, you have to have a production of, I  
20 think it's 1,450 kilowatt hours per nominal Kw,  
21 which is not that hard. If you're outside of  
22 that range, between 110 and 150, it's 1,600.  
23 That's a 10 percent increase just basically to  
24 make up for the lost TDV value, if you oriented  
25 it in the wrong direction.

1           And again, it's our way of saying orient  
2 it correctly and try to get as close as possible  
3 to southwest as possible, because that's the time  
4 when the grid needs the output the most.

5 MR. CAIN: Yeah, understood. One of the things  
6 that I start to wonder about, and this is perhaps  
7 a sidebar, is whether performance of buildings  
8 and systems will one day drive the street and lot  
9 layout of developments from the beginning, at the  
10 civil engineering state. Because that's  
11 something that historically has not yet happened.

12           So okay. Thank you, Mazi.

13           MR. SHIRAKH: My pleasure.

14           MS. WAHL: Hey, this is Francesca Wahl of  
15 Tesla. As Joe mentioned, we're all sort of still  
16 discussing and reviewing JA11, JA12 and I would  
17 just reiterate whatever Joe has just mentioned.  
18 There are a couple of areas in particular, for  
19 the battery side that we're still reviewing,  
20 which is definitely the control requirements as  
21 well as the minimum performance requirements. So  
22 we will be submitting written comments on both of  
23 those areas.

24           And then on the solar assessment tool,  
25 Bill, that you just mentioned having an online



1 version of this or some sort of online design  
2 tool, while we haven't kind of come to an  
3 internal conclusion on that, I think that would  
4 be the preferred route.

5           And then what has come up several times,  
6 as a question is sort of the need to have a sort  
7 of onsite display as well as if you're able to  
8 access it on your phone or on an online tool via  
9 your computer why do you need to have both, is  
10 one of the things that's come up as well. So, I  
11 just wanted to comment on that.

12           MR. SHIRAKH: Thank you, Francesca.

13           MR. NESBITT: George Nesbitt, HERS Rater.  
14 You mentioned adding another joint appendices for  
15 the smart meter. Since --

16           MR. SHIRAKH: Mark, you know the meters,  
17 smart meters.

18           MR. NESBITT: Smart inverter. Sorry, too  
19 many words.

20           MR. SHIRAKH: It's (indiscernible) 14,  
21 but we have --

22           MR. NESBITT: Sure not 13? I believe  
23 that the smart inverters are now currently  
24 required to be installed. So I'm wondering what  
25 the purpose of having another appendices on that

1 and it's a -- you know, regulations change and  
2 those are regulations that are well beyond your  
3 control. And whether it really serves any  
4 purpose to put language in and to try to  
5 replicate what those requirements are.

6 MR. PENNINGTON: So the Energy Commission  
7 has been leading the charge on smart inverter  
8 working group work. Staff in our Energy  
9 Assessments Division are actively involved in  
10 leading that work, so we will be drawing from  
11 their expertise. We also would be intending to  
12 rely on where the PUC will be at by the time our  
13 proceeding is done. And there's work going on  
14 right there.

15 Our intent is to have the smartest  
16 inverter that's reasonable to be required,  
17 because potentially that can make these systems  
18 much more valuable to the utility grid and be of  
19 value to all of us. So we're not trying to, by  
20 any means this staff create something new. We're  
21 just trying to make sure we advance this as far  
22 as we can, this cycle.

23 MR. NESBITT: Yeah. I mean, unless  
24 you're going to require something that isn't  
25 already required there, it just -- I'm not sure

1 if it's necessary.

2 Than on the sort of verification. As  
3 HERS raters we do find systems that are not  
4 working, not working properly whether they were  
5 wired wrong or what. And that's part of the  
6 value of having the HERS Rater and also in the  
7 NSHP having the expected output and taking actual  
8 measurements of the installed system.

9 MR. SHIRAKH: Well, this reported system  
10 that we're requiring would actually pinpoint all  
11 those problems.

12 MR. NESBITT: Maybe, maybe not. And  
13 maybe not for a long time. Some of that also  
14 depends on how you set up. So I mean certainly a  
15 micro inverter system monitors panel by panel.  
16 And there are certain things that definitely the  
17 system will tell you are wrong. But some of them  
18 are also dependent on how you set up the -- when  
19 you create the system online. Whether you put in  
20 an expected output and whether you put it in  
21 right and whether or not it will send a warning  
22 if it's not producing enough energy.

23 MR. SHIRAKH: But my understanding is  
24 that a HERS Rater cannot go up on the roof. If  
25 you can't go up on the roof, then what do you

1 actually verify?

2 MR. NESBITT: Why can't a HERS Rater go  
3 up on the roof? I've been on -- I can't tell you  
4 how many roofs I've been on to do PV  
5 verification.

6 MR. SHIRAKH: Well, yeah you may go, but  
7 we cannot require HERS raters to go on the roof.  
8 And if they can't go on the roof?

9 MR. BOZORGCHAMI: There is fall  
10 protection requirements, so the --

11 MR. SHIRAKH: Especially when there's all  
12 kinds of liabilities and risks, so we cannot  
13 require. And especially when you have a steep  
14 slope two-story home we cannot require people to  
15 go up there. The installers go there because  
16 they have to install and they're equipped for it.  
17 They're insured for it, but we cannot require  
18 HERS raters to do that.

19 MR. NESBITT: And you can verify a lot of  
20 that stuff without going on the roof.

21 MR. MILLER: The wiring?

22 MR. NESBITT: And the outputs. I mean  
23 we're trained to do that, too. I mean so, but  
24 anyway I guess the question is really, is a  
25 post -- or well what is the post shading analysis

1 good for? I mean, unless you're actually then  
2 kind of creating the baseline for what the system  
3 should do. I don't think that's really  
4 unreasonable to do. It is difficult, I think  
5 especially on a new home, to do ahead of the  
6 time.

7           There is certainly online software,  
8 Aurora, and there are some others that do  
9 satellite images and can do shading analysis,  
10 based on existing conditions. But if you don't  
11 have a house there, trees and they haven't grown  
12 yet, you don't have it. But kind of making sure  
13 a system is working and working properly is  
14 important.

15           MR. BOZORGCHAMI: So I'm going to stop  
16 this section of this discussion on these two or  
17 three topics and move on. And if I could ask  
18 everyone to submit their comments in writing,  
19 we're just running out of time. Right now we've  
20 got one more section still we need to go through,  
21 and that is the reference appendices. And I  
22 apologize for this, but we're just running out of  
23 time right now.

24           MR. MILLER: I'm Jeff Miller here to  
25 present Residential Appendices. These are the

1 Residential Appendices.

2 MR. STRAIT: That's it. Everyone can go  
3 home now. (Laughter.)

4 MR. MILLER: So we have additional  
5 protocols that are being added and they need to  
6 be updated in the table in the beginning of RA2.  
7 There are some that are not there yet, whole  
8 house fan, central fan ventilation, cooling  
9 systems, heat pump capacity, kitchen range hood  
10 are also needed. They have to be added to the  
11 table.

12 MR. STONE: (Indiscernible.)

13 MR. MILLER: I'm sorry, I can't hear you.

14 MR. STONE: Can you go back to the slide  
15 (indiscernible)?

16 MR. MILLER: There's a Table 2-1, a  
17 summary of the measures. It's grown quite a lot  
18 over --

19 MR. BOZORGCHAMI: If you look at it, it's  
20 on page RA2-3. I know you've got it on your  
21 computer, Nehemiah.

22 MR. MILLER: In RA2, there's a section on  
23 the Third Party Quality Control Program that has  
24 required some updating. So we've mainly are  
25 adding clarifying language, but also trying to

1 emphasize that Third Party Quality Control  
2 Program should accomplish more than a HERS Rater  
3 would accomplish. So that would involve strong  
4 oversight by the Third Party Quality Control  
5 Program entity, so that corrections can be made  
6 in the field before the installer leaves.  
7 And there's some additional language -- there's  
8 an expectation that there could be some  
9 electronic location verification done  
10 automatically if it's available. And also since  
11 we'll be modifying some data transfer language in  
12 JA7, we think that impacts the third party  
13 quality control programs and we've mentioned that  
14 also.

15           There's a new protocol for verification  
16 of central fan ventilation cooling systems. This  
17 is essentially the same verification that's done  
18 for central fans for newly constructed buildings.  
19 The thing that's different is that the same  
20 airflow rate and fan efficacy verification is  
21 required to be done at the ventilation fan  
22 cooling speed. So there'll be a change made to  
23 the compliance document and so that's the  
24 additional protocol.

25           We've added a protocol for verifying the

1 heat pump capacity. When heat pumps are  
2 specified for the performance compliance  
3 approach, it matters what the capacity is at the  
4 lower temperatures. And the compliance software  
5 models that capacity. So a HERS verification of  
6 the installed model and using the AHRI database,  
7 confirming the capacity is equal to what was  
8 modeled. It's very similar to the EER  
9 verification and the SEER verification that's  
10 already there. It's just confirming the AHRI  
11 specifications.

12           Oh, this is a QII. I'm just going to  
13 read this stuff. So there were changes made to  
14 the definitions: Modified the definition for  
15 compression, it clarified language and reduce the  
16 allowable compression to 30 percent, modified the  
17 definition for delaminated, clarified the intent  
18 to present voids or compression of the  
19 insulation, modified the definition for the inset  
20 stapling, clarified the intent to prevent voids  
21 between the insulation and the air barrier,  
22 inserted new definition for non-standard framing.  
23 So in 3.5.4, loose fill insulation, there's  
24 clarified language, reorganized some content,  
25 separated out gable ends from kneewalls and



1 skylight shafts, removed duplicate language,  
2 clarified window and door header insulation  
3 requirements for single-member headers that are  
4 the same width as the wall, added new section to  
5 address below deck insulation.

6           Section 3.5.8. Insulated concrete forms.

7 We clarified the language, reorganized some  
8 content, separated out gable ends from kneewalls  
9 and skylight shafts, removed duplicate language.

10 RA3.6 field verification of water heating  
11 systems. Section 3.6.5, HERS verified compact  
12 hot water distribution system expanded credit.  
13 This section is updated to reflect changes to the  
14 HERS verified requirement.

15 And Section 3.6.9 for drain water heating  
16 recovery systems, it's a new section that  
17 describes the requirements for drain water heat  
18 recovery system verification.

19           RA3.7 for a mechanical ventilation  
20 systems. There's a new verification for kitchen  
21 range hoods. And it involves going to the field,  
22 discovering the manufacturer name and model  
23 number that was installed, comparing that model  
24 number to the listing in the HVI directory to see  
25 that the installed model meets the requirements

1 for air flow rate and sums at 0.1 inches water  
2 column.

3           RA3.8, field verification and diagnostic  
4 testing of building air leakage. This is just an  
5 update to reference the new RESNET Standard. And  
6 currently, that's all we're doing. We've deleted  
7 what was already there and deleted it completely  
8 and, well, mostly that's what's done and are  
9 referencing the new standard. It's I'm uncertain  
10 whether we will attempt to get permission from  
11 RESNET to put the actual language of the protocol  
12 into that section or not. If we can do that, I  
13 think it would be desirable for the HERS raters  
14 to be able to read the procedure directly out of  
15 our appendix. I'm unsure if we'll accomplish  
16 that yet.

17           Additionally, in the current standards we  
18 reference -- I think there's at least three  
19 different ways to accomplish the verification of  
20 the envelope leakage. And what we're proposing  
21 to do is to limit it to the one point, a single  
22 point test.

23           The whole house fan verification, RA3.9.  
24 This is a new protocol. And the purpose is to  
25 provide a performance compliance verification

1 that whole house fans actually provide the air  
2 flow that has been modeled, that are expected to  
3 provide. Additionally, to measure the fan watt  
4 draw.

5           The air flow rate can be measured  
6 according to what we're proposing, using three  
7 different methods. A pressure matching  
8 methodology that uses a blower door, an airflow  
9 rate measurement using powered flow capture hood,  
10 and also a method using a traditional flow  
11 capture hood.

12           Water heating measures, pipe insulation  
13 credit. This section was deleted due to  
14 mandatory pipe insulation requirement in  
15 California Plumbing Code.

16           RA4.4.6, compact hot water distribution  
17 system. It's a new section that describes the  
18 requirements for the basic credit of compact hot  
19 water distribution systems. RA4.4.116 HERS  
20 verified compact hot water distribution system  
21 expanded credit, the section updated to reflect  
22 changes to the HERS verified requirements.

23           RA4.4, water heating measures.

24           4.4.20, solar water heating systems.

25 Added the IAPMO listing as a listing agency.

1 RA4.4.21 the drain water heat recovery systems.  
2 It's a new section. It describes the  
3 requirements for a drain water heat recovery  
4 systems.

5 And I think that's it. Questions?

6 MR. MCHUGH: I just have a really quick  
7 question. You were going to get rid of the pipe  
8 insulation verification, but I thought earlier  
9 today or yesterday I can't remember, that's still  
10 a method for what is it, electric water heater.  
11 I can't remember which water heater it is, but  
12 one of the water heaters you can use the pipe  
13 verification?

14 MR. TAM: There's two credits, one  
15 doesn't require HERS verification. That's the  
16 one that's being deleted. The HERS verified one  
17 is still there.

18 MR. MCHUGH: Okay. Yeah, thanks.

19 MR. STONE: Three things, and I'm not  
20 going to take them in order here. Nehemiah  
21 Stone, Stone Energy.

22 In RA3.8.1, as you're changing the  
23 reference to RESNET, it brings up an issue for  
24 me. That at the bottom of that section it says,  
25 "For purposes of this procedure conditioned space

1 boundary is defined as building envelope." So  
2 what that says to me is that this does not apply  
3 to multifamily, because that's not the boundary  
4 for multifamily.

5 MR. MILLER: That's not the intention.  
6 This protocol is going to be required to be used  
7 for the multifamily dwelling unit verification.  
8 We don't have any kind of an energy credit for  
9 multifamily whole building envelope leakage. But  
10 we are going to use this protocol for the  
11 dwelling units in multifamily dwelling units to  
12 determine compliance with the 0.3 CFM 50 per  
13 square foot of enclosure for those dwellings.

14 MR. STONE: So I shouldn't be troubled by the  
15 language here that says that the boundary is  
16 building envelope?

17 MR. MILLER: I can't hear you.

18 MR. STONE: Sorry, so I should not be  
19 troubled by the language here that says the  
20 boundary is the building envelope?

21 MR. MILLER: That doesn't sound correct  
22 to me, yeah.

23 MR. STONE: The whole house fan  
24 verification procedures, they're extensive. It  
25 starts off though saying, "When required for a

1 compliance." And I looked all through 150.0,  
2 150.1, 150.2 and there's nothing in the standards  
3 that says it's required.

4 Now, you can put it in the table in the  
5 appendix, but based on something you said just a  
6 few moments ago, Payam, and if it's in the  
7 appendices and it's not in the standard -- no,  
8 you were talking about the manual. Right, so if  
9 it's in the appendices this is --

10 MR. BOZORGCHAMI: This is a credit,  
11 though. This is a credit verification. It's not  
12 a prescriptive requirement. You could put a  
13 whole house fan in, no problem. But if you want  
14 to take an extra credit you have to go through  
15 the verification and you could get a percentage  
16 credit for it.

17 MR. MILLER: So it'd be specified in the  
18 ACM.

19 MR. STONE: In the ACM.

20 MR. MILLER: That would be specified in  
21 the ACM.

22 MR. STONE: All right, now I'm confused  
23 slightly differently, I guess. So can you show  
24 me where it would be -- can you point to where it  
25 says it would be required for some reason?

1           MR. SHIRAKH: This is not required again.  
2 The whole house fan is in the prescriptive  
3 baseline. It's in I think 151.00; I don't know.

4           MR. STONE: Yeah, it's required in  
5 certain climate zones for both.

6           MR. SHIRAKH: No, it's prescriptive,  
7 right?

8           MR. STONE: Prescriptively required in  
9 certain climate zones.

10          MR. SHIRAKH: Prescriptively required,  
11 now you can put in a whole house fan just like  
12 you do now. And you'll comply, you can walk  
13 away, nothing additional is required. But if the  
14 builder wants to get an extra credit then they  
15 can do a verification using one of the procedures  
16 that he just outlined. And you get like a point  
17 or two on the EDR scale by doing that  
18 verification.

19          MR. STONE: Now, the language around this  
20 is really confusing then. I don't consider a  
21 particularly stupid person, but when I read  
22 this --

23          MR. SHIRAKH: I understand and we need to  
24 read the language and make it more.

25          MR. STONE: Okay. And there's a typo on

1 the label of that anyway, by the way.

2 MR. SHIRAKH: That's Payam's fault.

3 MR. BOZORGCHAMI: Blame it on Danny.

4 MR. STONE: Then the other thing -- it's  
5 going to take me a moment to find it. If anybody  
6 else has a comment I'll be back.

7 MR. SHIRAKH: I'll be back, yeah. All  
8 right.

9 MR. NESBITT: George Nesbitt, HERS Rater.  
10 Yeah, so kind of following up on Nehemiah in  
11 Section 150.1(c)12. In the prescriptive  
12 requirements for the whole house cooling fan, it  
13 originally --

14 MR. SHIRAKH: That's too close.

15 MR. BOZORGCHAMI: Most people are too far  
16 away.

17 MR. STRAIT: Don't make our court  
18 reporter come up and slug you. We will put an  
19 end to comments that are too loud.

20 MR. NESBITT: So originally the language  
21 was for that this would be HERS verified, but it  
22 was eliminated there. So thank you for -- I had  
23 noticed while you're putting in all these  
24 verification procedures, but it wasn't required.  
25 But if it's going to be a ACM credit that's fine.



1 I guess my only real comment on the residential  
2 appendices is essentially what I said yesterday,  
3 is that really these are all HERS. This is the  
4 HERS appendices and some of those HERS tests have  
5 always applied or long applied to nonres, duct  
6 testing and some refrigerant charge. And now  
7 additionally, we're adding the ASHRAE 62.2.

8           So in the nonres appendices, there is a  
9 large amount of duplicate language talking about  
10 the HERS system and third-party control and all  
11 that. And so back to the idea of simplification.  
12 If we're eliminating all the duplicate redundant  
13 definitions in JA1 why are we duplicating large  
14 sections of the HERS appendices in the nonres  
15 appendices? And perhaps what you need to do is  
16 just consolidate the HERS sections, the  
17 acceptance testing as well as the commissioning  
18 into one joint appendices. Because they do  
19 all -- I mean, although commissioning and  
20 acceptance testing are only nonres the HERS goes  
21 both ways, but at least not duplicating the  
22 language. Because it just is room for error.

23 MR. MILLER: It's true, previously there was just  
24 the duct leakage testing. Now there's more and  
25 my view is failing to be very clear about what

1 the scope is for the protocol, in other words to  
2 reference a residential protocol for a  
3 nonresidential requirement, this is confusing.  
4 And so even though this is redundancy, it is I  
5 think very clear what the requirements are.  
6 We could discuss having a joint HERS appendices.  
7 That's what you're proposing, yes?

8 MR. NESBITT: Just call it HERS  
9 appendices. It's no longer a residential  
10 appendices.

11 MR. MILLER: Not all of them would be  
12 applicable to nonresidential.

13 MR. NESBITT: Right. But I mean, like a  
14 lot of places in codes it'll say well, you have  
15 to do this according to that section of case. So  
16 you have to go to that section of code. We don't  
17 just duplicate those section of codes everywhere  
18 it's referenced, so it's just --

19 MR. MILLER: Thank you.

20 MR. STONE: Nehemiah Stone, I apologize.  
21 I'm not going to be able to cite the sections. I  
22 was looking and I can't find them, but in one  
23 section of 150 -- and I'm not sure where it is --  
24 it says that insulation, piping insulation is  
25 required on piping that is between three-quarters

1 and one inch, and then all piping to the kitchen  
2 etcetera.

3 MR. STRAIT: Yes.

4 MR. STONE: You know, the "to one inch"  
5 was added recently, so I mean that was a  
6 conscious thing on your part, obviously. And but  
7 it raises the question, what about piping over  
8 one inch? And are you saying the changes in the  
9 Plumbing Code now make that language irrelevant?

10 MR. STRAIT: What we did in that section  
11 was to align that language with the Plumbing Code  
12 by saying follow the Plumbing Code requirement  
13 with the following modifications. Because the  
14 Plumbing Code says that your minimum insulation  
15 is based on pipe thickness. And there were a few  
16 areas where pipe thickness was still required to  
17 be at one inch even though the pipe itself was at  
18 three-quarters inch or less under our code. So  
19 for those handful of circumstances, we put in  
20 that specification as the minimum. Not the exact  
21 amount, but the minimum level of insulation for  
22 those pipes is one inch around those.

23 MR. STONE: You were talking about  
24 different things, Peter.

25 MR. STRAIT: Oh, I'm sorry.

1           MR. STONE: I'm not talking about the  
2 thickness of the insulation. I'm talking about  
3 the diameter of the pipe.

4           MR. STRAIT: Oh, I'm sorry.

5           MR. STONE: You added language that says  
6 that -- sorry, thank you -- so it says, "All hot  
7 water piping with a nominal diameter between  
8 three-quarter inch and one inch," that's what has  
9 to be insulated.

10          MR. STRAIT: Right.

11          MR. STONE: So over one inch you don't  
12 have to insulate it.

13          MR. STRAIT: So, hot water piping of one  
14 inch or greater is required to be insulated under  
15 the Plumbing Code.

16          MR. SHIRAKH: I think he has a point  
17 (indiscernible).

18          MR. STONE: So why did you add this? I  
19 mean, any piping over three-quarter inch has to  
20 be insulated. I mean, that's the way it was said  
21 before.

22          MR. SHIRAKH: That makes sense, what he  
23 said.

24          MR. STRAIT: I think that makes sense.  
25 I'm just explaining that my understanding is it's

1 required in the Plumbing Code. If that language  
2 isn't accurate we can bring it in alignment.

3 MR. MILLER: Any other questions?

4 MR. WICHERT: I'm going to go to a  
5 question online. Andy, I'm going to unmute you  
6 now.

7 MR. LLORA: Can you hear me?

8 MR. WICHERT: Yes.

9 MR. LLORA: I'm sorry if my language  
10 sounds strange. I just got out of a root canal  
11 and half my face is number.

12 I did miss the section on 150.1(c)  
13 (phonetic) regarding HERS verification, so I'm  
14 trying to make a partial comment. Now, is there  
15 any language pertaining to CFI systems, which  
16 currently have no pre-certification method?  
17 Because whole house fans are pre-certified with  
18 HVI right now. And there's currently nothing  
19 stopping a Title 24 consultant from modeling a  
20 CFI system with basically unattainable field  
21 values for CFM and water. They could put .3  
22 watts per CFM and 10,000 CFM on a five-time  
23 carrier unit, which is mathematically impossible,  
24 and get an insane amount of compliance. The only  
25 thing preventing that would be having a HERS

1 verification for the CFI systems. I don't see  
2 any language planned, so I was wondering if I  
3 missed that?

4 MR. MILLER: When you say CFI system are  
5 you talking about a central fan ventilation and  
6 cooling system or a central fan indoor air  
7 quality system type?

8 MR. LLORA: I'm talking about the CFI  
9 system that is used for Title 24 Part 6  
10 compliance under cooling ventilation credit, in  
11 the same area where whole house fans are used.  
12 Those two measures are the two items for  
13 nighttime cooling ventilation credit. And  
14 currently, you know you have whole house fans  
15 that are pre-certified with HVI and you have CFI  
16 systems that have no precertification can be  
17 applied and installed with multiple HVAC systems.  
18 And there is no precertification or HERS  
19 verification. Do you plan on installing language  
20 for HERS verification for CFI systems?

21 MR. MILLER: So those central fan ventilation  
22 cooling systems are purely performance compliance  
23 credit opportunities. So the verification  
24 that -- let's see, where is it? I don't know why  
25 I'm not seeing it. I better stop looking for it.

1 Central fan ventilation cooling system protocol  
2 has been added and the reason it's been added is  
3 because of the problem that you just described.  
4 The opportunity to get a credit for ventilation  
5 cooling using the central system was introduced,  
6 I think in 2013. But the protocol for the  
7 verification had not been developed and this is  
8 catching up with that oversight.

9           Also, those systems are not required to  
10 be certified through HVI, because these are  
11 central fan systems. And it includes the  
12 performance of the central fan plus the quality  
13 of the design of the duct system. So there would  
14 be no reason to go to HVI to certify them.  
15 That's not the case with whole house fans.

16           MR. LLORA: No, I'm not recommending HVI  
17 certification for an HVAC system. I'm saying  
18 that there currently already exists a HERS test  
19 for fan, water and airflow. HVAC systems can be  
20 tested in fresh air mode for how much CFM and the  
21 watt draw that is occurring during that mode of  
22 fresh air operation. Because currently, Title 24  
23 software, you can put numbers that are lower than  
24 0.58 watts per CFM and if that system doesn't  
25 actually deliver said CFM, and at the modeled

1 watts per CFM ratio, they're getting fake  
2 compliance that is not realistic.

3 MR. MILLER: Yes, this HERS --

4 MR. LLORA: That would be the equivalent  
5 of me basically making up a fan CFM in wattage  
6 and not HVI rating it.

7 MR. MILLER: This HERS verification then  
8 tends to close that loophole.

9 MR. LLORA: Okay. So you will have a  
10 HERS verification for CFI systems?

11 MR. MILLER: Yes, for central fan  
12 ventilation cooling systems.

13 MR. SHIRAKH: And again, it will be just  
14 a compliance credit similar to the procedure for  
15 whole house fans, correct?

16 MR. MILLER: No, it's entirely different, and in  
17 terms of the protocol that's used for central fan  
18 ventilation cooling systems.

19 MR. LLORA: I think you're talking about  
20 something different, because in the Title 24  
21 modeling software under cooling ventilation  
22 credit, you can pick a CFI or you can pick a  
23 whole house fan. Both of those products have two  
24 values that are input at a CFM that they're able  
25 to cool with that amount of volume and the



1 wattage.

2           And the ratio for the whole house fans  
3 are pre-certified with HVI, but the CFI systems  
4 are based on a three-time system that's 1050 CFM  
5 and 0.58 watts per CFM. They can choose to model  
6 800 CFM for the CFI at 0.58 watts per CFM, but  
7 can also choose to model -- basically the  
8 software will allow you to put in 10,000 CFM at  
9 .1 watts per CFM, which is mathematically  
10 impossible with a three-time carrier system that  
11 can only deliver 1050 CFM. So the software  
12 currently is flawed and the only thing that would  
13 catch anybody doing that for extra compliance  
14 would be a HERS verification.

15           MR. MILLER: Yes, I think we're agreeing  
16 very forcefully on this.

17           MR. LLORA: Oh, okay.

18           MR. MILLER: The purpose of the  
19 verification is to close that loophole and the  
20 protocol involves measuring the fan watts and the  
21 airflow. And ensuring that it meets the 0.58  
22 watt per CFM criterion at ventilation cooling  
23 speed.

24           MR. LLORA: Okay. And the second  
25 question I had was more of a clarification. The

1 HERS verification for a whole house family,  
2 that's proposed for 2019, is that for ADR points  
3 and additional compliance bonuses, and not going  
4 to be a mandatory measure?

5 MR. BOZORGCHAMI: Yes, that's what that  
6 is.

7 MR. LLORA: Like when whole house fans  
8 are modeled on a performance model, does a HERS  
9 test automatically get triggered?

10 MR. SHIRAKH: No.

11 MR. BOZORGCHAMI: So, what happens is  
12 when you model a regular whole house fan  
13 prescriptively, you're okay. But if you want to  
14 take the extra credit you can get a couple of EDR  
15 scores points if you go and do the verification.

16 MR. SHIRAKH: We don't know if it's going to be a  
17 couple of EDR points, but --

18 MR. BOZORGCHAMI: Yeah.

19 MR. SHIRAKH: -- it will be some credit,  
20 yeah it's going to be above and beyond. And it's  
21 not a mandatory or prescriptive requirement. It  
22 is at the builder's option.

23 MR. LLORA: Oh, okay. So the HERS verification  
24 will be optional for compliance credit. Okay.

25 And the last question I had was regarding the

1 HERS verification, it looks like you have three  
2 proposed measures for the HERS verification  
3 procedures. Keep in mind that more and more  
4 often we are seeing builders exceeding 2 CFM per  
5 square foot. So the systems need to be capable  
6 of testing well in excess of 10,000 CFM of whole  
7 house fan power. A 5,000 square foot household  
8 easily will have 10,000 CFM installed when a  
9 whole house fan is performance modeled.

10           So we would put in 26.5 model fans,  
11 that's resulting in about 11,000 CFM. We've seen  
12 as high as 15,000 CFM and we've even seen custom  
13 homes that have 17,000 square feet or 7,000  
14 square feet. And they're putting in 14,000 worth  
15 of CFMs of whole house fans. They're putting one  
16 2.5 fan in every bedroom. We've seen  
17 installations like that where you have well in  
18 excess of 25 or 30,000 CFM of whole house fans.  
19 We will need some language there as to whether or  
20 not the fans will be tested individually or is it  
21 some whole. And as to what equipment or system  
22 you're going to use to test static pressure of  
23 that magnitude, if you were to put in three,  
24 four, five blower doors into the structure to  
25 create static pressure equivalent of what 20,000

1 CFM is evacuating into the attic from the home  
2 that amount of static pressure will open every  
3 single damper including kitchen range hoods,  
4 bathroom dampers, dryer vents. All of those  
5 dampers would get pushed open resulting in a  
6 margin of error that could cause the fan watts to  
7 be reporting a false failure, because we're  
8 creating so much static.

9           So these things should be considered,  
10 that the prescriptive amount of 1.5 CFM per  
11 square foot is rarely using the applications that  
12 we've seen. Ninety to ninety-five percent of the  
13 applications we've seen are still putting in 2  
14 CFM per square foot or greater.

15           MR. MILLER: Okay.

16           MR. SHIRAKH: So I think the point of the  
17 test is not to just test the maximum CFM that the  
18 system can deliver. It is to make sure that you  
19 are providing whatever the prescriptive  
20 requirement is, so if it's 1.5 in a 3,000 square  
21 foot home you should be able to deliver at least  
22 4,500 CFM. So if you put a fan that's bigger  
23 than that, it's fine. But we're interested that  
24 you are getting 4,500 CFM and it should be at the  
25 fan watt draw that's required prescriptively.

1 So you can have more fan than that, but we're not  
2 going to be testing all of it. It's just --

3 MR. MILLER: So performance though you may not  
4 (indiscernible).

5 MR. LLORA: Wait, does that -- but if  
6 they actually model more than 1.5 CFM using the  
7 performance method, wouldn't the HERS  
8 verification encompass and require that a 2,000  
9 square foot home, let's say they put 3 CFM per  
10 square foot and that's 6,000 CFM, wouldn't the  
11 HERS test verification on both the 2R and the 3R  
12 require that they meet that modeled amount of  
13 6,000 CFM?

14 MR. SHIRAKH: If you take credit for it,  
15 I think it would yes.

16 MR. MILLER: Yes

17 MR. LLORA: Okay. That would make a lot  
18 of logical sense.

19 MR. SHIRAKH: I guess I was describing a  
20 situation where you don't do that and you only  
21 specify the minimum required. And then you end  
22 up with 4,500 CFM, but somebody installs a 6,000  
23 CFM fan. In that case --

24 MR. LLORA: That's perfect

25 MR. SHIRAKH: -- then you're not claiming

1 the credit for that extra and so we won't be  
2 testing it. But if they did model it with 6,000  
3 to get an extra credit then you're correct, and  
4 it will be the entire CFM.

5 MR. LLORA: Okay. We'd like to offer our  
6 services into helping you devise the best systems  
7 for all three of those procedures for HERS  
8 testing. So anything that QC Manufacturing can  
9 do to assist, just let us know. Our R&D staff is  
10 at your disposal.

11 MR. MILLER: Well, excellent. Thank you  
12 very much.

13 MR. SHIRAKH: Thank you, Andy.

14 MR. LLORA: Okay. Thank you very much.

15 MR. MILLER: If you would like to submit  
16 suggested changes to the draft protocol that  
17 could be helpful.

18 MR. STRAIT: This definitely sounds like  
19 a good conversation to continue offline.

20 MR. LLORA: Okay. Thank you very much,  
21 and I'm sorry I missed it earlier. I just came  
22 in right at the comments section, so I will go  
23 through the videos and go through the language  
24 that you put on the slides.

25 MR. STRAIT: Excellent.

1 MR. MILLER: Thank you.

2 MR. LLORA: Thank you

3 MR. BOZORGCHAMI: Any more comments?

4 Anyone from there? Good, I ran out of ink.

5 Thank you every one for participating today and

6 please submit your comments. The sooner the

7 better, but by October 20th it would be great.

8 MR. SHIRAKH: Man, you said 4:00 o'clock

9 and we're right on the money.

10 MR. BOZORGCHAMI: We've got four minutes,

11 anybody want to talk? Anything? Thank you so

12 much.

13 MR. STONE: Before anybody leaves the Tax

14 Credit --

15 MR. STRAIT: You realize we weren't being

16 serious, right?

17 MR. STONE: -- the Tax Credit Allocation

18 Committee has their draft regulations for next

19 year for sustainable building measures, which

20 includes a lot of energy stuff. And relates back

21 to the standards out for review and the review

22 ends at the end of this month. There's hearings

23 on it next week. If you all think you might have

24 something to say on that, and I think you might,

25 I'd urge you to take a look at the draft

1 standards and comment.

2           MR. STRAIT: Just for simplicity's sake  
3 if you've got a link you could email to us that  
4 would be great.

5           MR. STONE: I will do that. Thank you.

6           (The workshop adjourned at 3:59 p.m.)

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25




**REPORTER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 20th day of November, 2017.

---

PETER PETTY  
CER\*\*D-493  
Notary Public

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



---

MARTHA L. NELSON, CERT\*\*367

November 20, 2017

