

## DOCKETED

<b>Docket Number:</b>	17-BSTD-02
<b>Project Title:</b>	2019 Title 24, Part 6, Building Energy Efficiency Standards Rulemaking
<b>TN #:</b>	222729
<b>Document Title:</b>	Transcript of 02052018 Lead Commissioner Hearing 2019 Energy Code and CALGreen Code
<b>Description:</b>	N/A
<b>Filer:</b>	Cody Goldthrite
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	2/26/2018 1:15:05 PM
<b>Docketed Date:</b>	2/26/2018



APPEARANCES

COMMISSIONERS:

Andrew McAllister, Lead Commissioner Energy Efficiency Standards

Martha Brook, Adviser to Commissioner McAllister

ENERGY COMMISSION STAFF

Payam Bozorgchami, Project Manager, 2019 Standards

Peter Strait, Supervisor, Building Standards Development

Michael Shewmaker, Building Standards Office

Maziar Shirakh, Lead & Advisor to the 2019 Building Standard Staff

Gabriel Taylor, Building Standards Development Office

Jeff Miller, Building Standards Office

Danny Tam, Building Standards Office

Gabriel Taylor, Building Standards Office

Todd Ferris, Building Standards Office

Ronald, Balneg, Lighting, Building Standards Office

William Pennington, Building Standards Office

Christopher Meyer, Building Standards Office

PUBLIC COMMENT:

George Nesbitt, Independent HERS Rater

Mike Hodgson, ConSol for CBIA

Serj Berelson, Nest Labs

APPEARANCES (Cont.)

PUBLIC COMMENT: (Cont.)

Laura Petrillo-Groh, Air Conditioning, Heating and Refrigeration Institute, AHRI

Richard Haring, Philips Lighting

Francesca Wahl, Tesla

\*Jonathan Houle, ecobee

Ken Nittler, Enercomp, Inc.

Curt Rich, Curt Rich, North American Insulation Manufacturers Association, NAIMA

Peggy Jenkins, California Air Resources Board, CARB

John Rose, Home Ventilating Institute, HVI

Michael D. Fischer, Kellen Company for American Chemistry Council Spray Foam Coalition

Jon McHugh, McHugh Energy

Tanya T. Hernandez, Acuity Brands

\* Steven Gatz, Whirlpool Corporation

\*Mia Marvelli, California Building Standards Commission

\*Chris Primous, MaxLite

Rob Hammon, BIRAenergy

Russell King, CalcERTS, Inc.

Joe Cain, Solar Energy Industries Association, SEIA

Alex Hillbrand, Natural Resources Defense Council, NRDC

Helmut Gehle, Sunrun

\*Claire Broome, Emory University

\* Rachel Golden, Sierra Club

APPEARANCES (Cont.)

\*Kelly Knutsen, CalSEIA

Chris Bradt, Frontier Energy for Bay Area Regional Energy Network

Alex Morris, California Energy Storage Alliance

Robert Raymer, California Building Industry Association, CBIA

Alex Boesenberg, National Electrical Manufacturers Association, NEMA

\*Robert Nachtrieb, Lutron Electronics

\*Jim Gaines, Philips

\*Laura Gray, California Energy Storage Alliance

\*Phil Undercuffler, Outback Power, Inc.

Gina Rodda, Gabel Energy

Emily Withers, Department of Housing and Community Development, HCD

AGENDA

	<u>Page</u>
Opening Comments	7
Proposed 2019 Energy Code Presentation	10
Payam Bozorgchami	
Part 1, Section 10 Presentation	13
Payam Bozorgchami	
Subchapter 2 Presentation	22
Peter Strait	
Michael Shewmaker	
Subchapter 7 Presentation	47
Peter Strait	
Jeff Miller	
Subchapter 8 Presentation	100
Michael Shewmaker	
Maziar Shirakh	
Peter Strait	
Danny Tam	
Subchapter 9 Presentation	136
Michael Shewmaker	
Jeff Miller	
Joint Appendices Presentation	147
Peter Strait	
Jeff Miller	
Maziar Shirakh	

AGENDA

Residential Appendix Presentation	197
Jeff Miller	
Danny Tam	
ACM Approval Manual	204
Todd Ferris	
Closing Remarks	208
Adjourn	210

P R O C E E D I N G S

9:20 A.M.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. BOZORGCHAMI: I think we can start now. We have Martha in the house, who's acting for Commissioner McAllister until he shows up. So if we could take our seats, we could start and try to catch up. If everyone could please take their seats we're going to get started here.

So welcome to the Lead Commissioner Hearing for the 2019 Building Energy Efficiency Standards. I sincerely apologize for being delayed a little bit. We had some scheduling conflicts here. For now, Martha Brook will be sitting in for Commissioner McAlister, while we do the full introduction and where the snack bars and the bathrooms are. And then as soon as Commissioner McAllister gets here, we will start with the meat of the standards.

So with that, the restrooms, out of the double doors to your left; snack bar is on the second floor. I think Mike Fischer found it already. In case of an emergency, let's everybody reconvene back at the Roosevelt Park, kitty corner from us and nobody take off and go back to their office. We need to do a head count. If not, we're going to have to send someone like Mazi back in to look for you.

1           So the topics for today are mainly residential  
2 topics. We have an admin section, Part 1, Section 10  
3 that we're going to be discussing. We've got the joint  
4 appendices, residential appendix and a quick Alternative  
5 Calculation Method Approval Manual. That's a real short  
6 presentation there.

7           And tomorrow, we will be presenting all the  
8 non-residential measures. The Section 10-103 will be  
9 presented tomorrow. That is the Acceptance Test  
10 Technician Certification Provider's Protocol. We feel  
11 that since really all non-residential folks will be here  
12 tomorrow, that part should be within that section.

13           So with that, I'm going to give a quick, fast  
14 history of how the Energy Commission started. In 1974,  
15 the Warren-Alquist Act was signed into law by Governor  
16 Ronald Regan, in 1975. It was signed and funded by  
17 Governor Jerry Brown, his first term in his position.  
18 The requirement of the Warren-Alquist Act of the Energy  
19 Commission is to look at ways to reduce the unnecessary  
20 consumption of energy and requires that the local  
21 jurisdictions and building officials to enforce these  
22 through a permit process.

23           There are other goals that are bestowed on the  
24 Energy Commission staff. One of the key ones, as you all  
25 know, is that the California Energy Commission tried to

1 come up with standards that hits this zero net energy for  
2 2020 and 2030 for non-residential.

3           How do the standards work? The Energy  
4 Commission staff with the help of the utility partners  
5 develop the codes on a tri-annual basis. I would like to  
6 give thanks to Pacific Gas and Electric, Southern  
7 California Edison, Southern California Gas, San Diego Gas  
8 and Electric, Sacramento Municipal Utility District, Los  
9 Angeles Department of Water and Power and Southern  
10 California Public Utility Authorities, who with their  
11 consultants, really helped out in development of the 2019  
12 Standards.

13           I also would like to give thanks to Kelly  
14 Cunningham of PG&E, and Heidi Hauenstein of Energy  
15 Solutions. Without those two we would not be here today.  
16 They really kept the dialogue going between Energy  
17 Commission staff, Energy Commission consultants and their  
18 own consultants. They really kept us on this path.

19           And everything that we did, that PG&E or the  
20 utilities did, went through a vigorous life-cycle cost,  
21 based on a time dependent value calculation. This is the  
22 value of gas and electricity change, depending on season  
23 and time of day. So all of that was taken into  
24 consideration when coming up with our proposed changes  
25 for this code cycle.

1 California is divided into 16 climatic zones.  
2 They're a little bit different than what some of you guys  
3 that work on the international field or scene, working  
4 with ASHRAE or the I Codes. (phonetic) If you look at  
5 ASHRAE'S climate zones, California is primarily Climate  
6 Zone 3, but you guys that reside in California know  
7 that's not true. If we drive a few hours, we're in the  
8 hot desert. We drive a few hours we're in the foggy,  
9 snowy weather.

10 For this code cycle, the utilities sponsored 19  
11 pre-rulemaking or what we call stakeholder workshops.  
12 Nine of them were in person and they had 10 that were  
13 done through webinars. And there's a website on the  
14 bottom of those slides. If you want to see what was  
15 presented, at what time, it's right there. At the Energy  
16 Commission, we had 14 pre-rulemaking staff workshops here  
17 at the Energy Commission, prior to this hearing today.

18 Our goal is to take everyone's comments into  
19 consideration, everyone's different ideas and try to come  
20 up with a very productive standard energy code as  
21 possible.

22 So where are we at today? Today, being  
23 February 4th (sic) and 6th and I apologize to be right a  
24 day after the Super Bowl. I hope everyone got to see it,  
25 hung over or not. That's okay.

1           Comments for today's workshop and the 45-day  
2 language that was posted on January 19th are due by March  
3 5th. But the sooner we get those comments, the better we  
4 are off. We want to be able to start a dialogue with you  
5 folks and get the final 15-day language done properly and  
6 appropriately. I've already talked to folks at CBIA.  
7 There's a couple edits that they found and I'm very  
8 thankful that they did. And we will be fixing those  
9 later one.

10           On March 21st, there will be a 45-day language  
11 hearing at the Commission business meeting. That will  
12 probably be a five-minute presentation I will be doing  
13 for the Commissioners, giving them an update of what's  
14 happening and letting everybody know that we're going to  
15 come back for a 15-day adoption on April 11th. That's  
16 the business meeting in April.

17           With that, CALGreen is going to be a little bit  
18 later on. The Code Advisory for CALGreen will not be  
19 meeting until July-August of this year. So that part of  
20 Part 11 will be a little bit delayed, going into adoption  
21 with our Commissioners. We're trying to get everything  
22 wrapped up and the software development, the manuals,  
23 electronic documentations, to be all done before the  
24 first of the year 2019. So it gives you guys a one year  
25 in advance to have things available to study, learn,

1 understand, and ask questions.

2           What we're doing this code cycle, staff's  
3 committed to coming out with an electronic index for the  
4 standards to make it easier for doing the search in the  
5 standards itself. That's going to be a big task. We  
6 have a couple of staff here, Alexis Smith and Ronald who  
7 will be leading that project.

8           New for the 2019 Standards, a lot of it is  
9 updating the efficiencies a little bit more. And there's  
10 a couple of new mandatory requirements. The indoor air  
11 quality measures will be new for this code cycle. We  
12 will have new prescriptive door insulation requirements.  
13 We'll be improving the air handling efficiency. And I  
14 think later on today or this morning, Mazi will be  
15 talking about PV and batteries.

16           Like I said, what we're here today. We're  
17 hoping that you folks have already reviewed the  
18 standards, the proposed language that's already posted on  
19 the website. Staff is going to be providing a high-level  
20 presentation on sections that have been changed or that  
21 has minor edits, but don't really get into those. Those  
22 are like we missed a comma, we missed a period here or  
23 there.

24           But in reality, this presentation is trying to  
25 get your comments in. There's a lot we're going to be

1 covering in the next few hours, I should say eight hours  
2 or so. So if we can't get to your comments please submit  
3 your comments in writing to our docket or communicate  
4 with me and we'll get them in somehow. Those other two  
5 websites that we have posted for dockets, and if you have  
6 any questions, I can answer them right now.

7           So with that, any questions on the line? No?  
8 Okay.

9           (No audible response.)

10           So with that, we're going start going over the  
11 Part 1, Section 1, the admin section of Title 24.

12           So again, my name is Payam Bozorgchami. I'm  
13 the Project Manager for the 2019 Standards. And I'm  
14 going to be talking about Part 1 of Title 24, Part 6.  
15 This is the admin section.

16           So under the definitions of 10-102, we updated  
17 some definitions. We added in some new definitions to  
18 really capture what we're trying to present and propose  
19 today. One area, like I said earlier today, we're not  
20 going to be presenting today will be the whole ATTCP  
21 requirements. Those will be presented tomorrow, but  
22 there was a lot of cleanup done in this section and Joe  
23 Loyer will present that in the morning.

24           Locally adopted energy standards, we wanted the  
25 local governments, when they submit their package to us

1 for approval, we wanted them to clearly state that we  
2 want to see their code provide us a cost-effective  
3 analysis for what they're proposing to their own  
4 constituents.

5           We added a new section into 10-109. This is  
6 when someone's coming in for approval, the photovoltaic  
7 system requirements and determinations. In this section,  
8 what we're trying to say is there will be areas in  
9 California that PV -- buildings not areas, but in  
10 buildings in California that will not take a benefit for  
11 adding PVs. And this gives them an exception to provide  
12 that information to us.

13           Under 10-110, procedures for consideration for  
14 application, we get a lot of compliance options coming  
15 in. And we wanted to give it a timeline of what the  
16 Energy Commission staff is to do to evaluate these  
17 completed applications. These are -- and it's between 15  
18 days and 60 days of review.

19           UNIDENTIFIED SPEAKER: He's here.

20           MR. BOZORGCHAMI: As you guys all know,  
21 Commissioner McAllister just walked in. Martha, you're  
22 off the hook now.

23           It provides a timeline between 15 and 60 days  
24 for staff to evaluate the completed documents submitted  
25 to the Energy Commission.

1                   Certification and labeling of fenestration  
2 products, there has been -- we're trying to streamline  
3 that California Energy Commission and the building  
4 officials really need to look at the NFRC label that's on  
5 the fenestration. Certain products and certain  
6 manufacturers provide two labels for the same type of  
7 efficiency, one being higher than the other on and it's  
8 causing a confusion for the inspectors or the building  
9 officials. So we're streamlining it. All right, from  
10 now on if you've got a U-factor, SHGC/VT or leakage, it  
11 has to be an NFRC label, not a third-party certification  
12 label that claims that they meet the protocol of NFRC.

13                   We changed the term "certification" under the  
14 certification and labeling of roofing products for  
15 reflectance and remittance. The Cool Roof Rating Council  
16 is the agency that the Energy Commission relies on to do  
17 the rating of our roofing products. They don't certify  
18 them. They rate them. So we tried to clean the title a  
19 little bit and clean up the terminology that's used in  
20 the admin sections to capture that properly.

21                   10-115 is a new section that's been added.  
22 This is added to provide a clear understanding of the  
23 community that's coming in with the community solar type  
24 system that they can show is actually equivalent to  
25 onsite PV systems.

1           With that, that's in for that section. If you  
2 have any questions or comments please come up the podium.  
3 But before you do, please state your name, your  
4 affiliation and please provide a business card or contact  
5 information to our court reporter. We are always having  
6 a hard time figuring out who is making that presentation  
7 or who's making that comment, because we don't know how  
8 to get back to that person.

9           MR. PENNINGTON: Commissioner McAllister, would  
10 you want to make some opening remarks?

11           COMMISSIONER MCALLISTER: Yeah. Hey, so  
12 thanks, Payam. I gather you all started what about 9:20  
13 or something, so I didn't miss too much.

14           MR. BOZORGCHAMI: I apologize.

15           COMMISSIONER MCALLISTER: Yeah, no worries.  
16 Sorry. We had a scheduling conflict, so I was elsewhere  
17 when that one started, but I rushed over.

18           So thank you all for coming. I'm really  
19 excited about this workshop today and it'll continue on  
20 into tomorrow. I have a red-eye. I guess maybe I should  
21 have been, rather than where I was, I should have been  
22 meditating. You know, we're getting ready to air drop  
23 into D.C. tonight, on a red-eye. You know, meditation is  
24 important when you go into foreign lands I guess,  
25 (laughter) but getting mentally prepared, as it were.

1           So but and so I'm going to miss tomorrow,  
2 unfortunately. But I'll be paying attention, obviously.  
3 And I really want to thank staff, first and foremost for  
4 all the work getting this large ship moving forward. We  
5 happily, if you take a sort of historical perspective we,  
6 on the Title 24 Building Energy Efficiency Code or  
7 Standards, we are now sort of -- I think it's great that  
8 we're on a three-year cycle. Everyone knows that and  
9 takes it for granted. We're doing it in lock step with  
10 the Building Standards Commission and all the other  
11 pieces they have to deal with. And that's the clear  
12 expectation.

13           So the process really matters to keep  
14 everything moving forward and being able to engage with  
15 all the stakeholders in making sure that all the concerns  
16 are treated and all the goals of the state are  
17 implemented and developed in a way that works for the  
18 marketplace and all the stakeholders. So that is no mean  
19 feat and I want to just thank staff and all the  
20 stakeholders who've been actively engaged, up to now, on  
21 getting to where we are. So thanks for that.

22           So the focus this round has been, not entirely,  
23 but largely on residential. And we have stated policy  
24 goals for this round and we're getting to a certain point  
25 with this round. And we'll continue on into the next

1 rounds as the marketplace evolves and the technology  
2 develops and all that good stuff happens. I think a lot  
3 of people across the country and world are looking at  
4 this to see what we can do in California in terms of  
5 decreasing the footprint of our built environment,  
6 helping incorporate new technologies, making sure we pay  
7 attention to all the grid issues and the distributor  
8 technologies that are out there and increasingly are  
9 going to be out there. And really doing that in a way  
10 that provides a solid foundation for the long-term  
11 future, and not just sort of nose to the grindstone  
12 today, which we have to do, but also looking with some  
13 vision out further on.

14           So those are a lot of big concepts to juggle  
15 and a lot of things to be aware of as we work through all  
16 these issues that are going to come up and plan was just  
17 some of the details on windows and other building  
18 technologies that absolutely have be -- the trenches have  
19 to be dug for that. But also, thinking about how we can  
20 keep the lanes open for new technologies to come in to  
21 help us solve problems that are coming in the future.  
22 And so -- or just issues, not necessarily problems, but  
23 just being attentive.

24           Our buildings are part of a bigger network and  
25 need to provide multiple services. They both need to

1 serve the people who live in them, but they also need to  
2 engage properly with the grid. We're going to have lots  
3 of solar and other distributed energy technologies.  
4 We're going to have increasingly probably batteries. You  
5 know efficiency continues to be the bedrock of our  
6 policy, you know? The less energy we need in our  
7 buildings, the less all these other problems are, the  
8 smaller all these other problems are.

9           So juggling all those things, just keep all  
10 that in mind as we move forward. Each person's going to  
11 have their set of issues, but long term, we have to de-  
12 carbonize our grid. And that starts with our buildings.  
13 So let's sort of link arms and think about where  
14 California is going and needs to go and how our buildings  
15 can support that.

16           So sort of high level, those were my  
17 introductory comments. I really appreciate everybody  
18 again, for being here. And I'm looking forward to a  
19 robust discussion today. So thank you.

20           So (indecipherable) for now, yeah.

21           MR. HODGSON: Mike Hodgson, ConSol representing  
22 the CBIA. Payam, I'd like to talk about Section 10-106,  
23 locally adopted --

24           COMMISSIONER MCALLISTER: Is there a mic up  
25 there?

1           MR. BOZORGCHAMI: Can you get closer to that  
2 mic? Oh, there it is, yeah.

3           (Off mic colloquy.)

4           COMMISSIONER MCALLISTER: If you're tall you  
5 have to hunch over a little bit, there you go.

6 (Laughter.)

7           MR. HODGSON: Mike Hodgson representing CBIA.  
8 I'd like to talk about Section 10-106, the locally  
9 adopted standards. I made this comment earlier to staff  
10 on the 45-day language in the draft, as well as this  
11 form.

12           Under Section A1 determinations of standards or  
13 cost effective, this is an area where I'm glad staff is  
14 clarifying that we need submit, that local jurisdictions  
15 need to tell us that they are cost effective, but the  
16 methodology that they use is all over the map. It can be  
17 a simple pay back. It can back of the envelope. It can  
18 be some type of study sponsored by someone.

19           So what we'd like to do is insert after the  
20 word "cost effective" is "by current CEC methodology."  
21 So we're consistent in that not only are we looking at  
22 cost effectiveness as the Energy Commission looks at it,  
23 but if the local jurisdictions want to look at it,  
24 they're using the same well-defined methodology. Thank  
25 you.

1                   COMMISSIONER MCALLISTER: Thank you, Mike.  
2 We'll look into that and we'll keep that dialogue going  
3 with you.

4                   MR. NESBITT: George Nesbitt, HERS Rater,  
5 Section 10-110-115, the community solar, under  
6 (indiscernible) for durability. You say that the  
7 community solar system would have to have an equal or  
8 greater life as compared to a PV or storage system. So  
9 what's that life? I mean that's horribly undetermined.

10                   We know that panels can last 20, 30 years.  
11 Inverters, they should last at least 10 years, if not  
12 longer. But that varies. So rather than comparing the  
13 life of a community solar system to something that's  
14 undefined, it would be far better to define the length of  
15 the community solar system. Say 15 years, 20 years, 25,  
16 30, whatever. But just make it clear that it is supposed  
17 to have a minimum determined life.

18                   MR. STRAIT: Thank you.

19                   MR. BOZORGCHAMI: Any comments on the Web? No?

20                   (No audible response.)

21                   Okay. So with that, we will move on to our  
22 next section, our next presenters.

23                   MR. STRAIT: While the next presenter gets up,  
24 just one housekeeping item. I know some of the people  
25 attending today filled out blue cards for their comments.

1 We will get to those cards at the very end of the day if  
2 there's anything left over that you don't have a chance  
3 to comment on as we go section-by-section. Otherwise, at  
4 the end of each of these sections, there'll be an  
5 opportunity to comment. So thank you.

6 MR. BOZORGCHAMI: Peter.

7 MR. STRAIT: Sorry, I forgot I also have to use  
8 this mic now.

9 So jumping to Subchapter 2, all occupancies,  
10 I'm going to walk through some of the simpler changes. A  
11 lot of these are cleanup changes, so I'm going to move  
12 fairly quickly.

13 On the Section 110.2, mandatory requirements  
14 for space-conditioning equipment, we updated the numbers  
15 in the columns and the tables. These are largely federal  
16 standards that have shifted. We did some cleanup to  
17 remove standards that were no longer applicable. We also  
18 updated references to the efficiencies to line up with  
19 ASHRAE 90.1 2016.

20 And 110.3, mandatory requirements for service  
21 water heating systems and equipment, we made a change to  
22 align with the California Plumbing Code. This was  
23 updating a temperature specification from 110 degrees  
24 Fahrenheit to 120 degrees Fahrenheit. And we added  
25 appropriate exceptions for healthcare facilities,

1 covering controls of outlet temperatures and hot water  
2 distribution systems. We know they have their own sets  
3 of needs and much higher levels of stringency they have  
4 to attain, so we don't want to get in the way of those  
5 requirements.

6 For Section 110.4, mandatory requirements for  
7 pool and spa systems and equipment, we added cleanup  
8 language necessary for clarity, but didn't change any of  
9 the underlying requirements.

10 In Section 110.5, we added fireplaces, so it's  
11 a requirement to prohibit continuously pilot lights for  
12 indoor and outdoor fireplaces. This is simply to treat  
13 them consistently with the other sources of gas use that  
14 can use a pilot light. It's worth noting that this is  
15 not a prohibition on pilot lights that are intermittent.  
16 That is that are not on when the device is not in use,  
17 but are on for the duration that the device is there. We  
18 are not getting in the way of that. We are simply saying  
19 the ones that are constantly on, regardless of the status  
20 of the device, are prohibited.

21 And as we move to fenestration, I'm going to  
22 hand the presentation off to our fenestration subject  
23 matter expert.

24 MR. SHEWMAKER: Good morning. My name is  
25 Michael Shewmaker. I'm a Residential CEA with the

1 Building Standards Office. I'm just going to touch on  
2 the fenestration here quickly.

3           So in Section 110.6(a)s 2, 3 and 4, we have  
4 reduced the allowable square footage from 1,000 square  
5 feet to 200 square feet that is able to take the site-  
6 built fenestration to use the default values to NA6.  
7 This is something that has been long standing and was,  
8 over time supposed to be phased out, so we're slowly  
9 stepping that back. And for anything about 200 square  
10 feet, they're going to be pointed to use the CMA  
11 approach.

12           And then in 110.6(a)4 we changed the term  
13 "tubular skylights" to "daylighting devices."

14           I'm now turning it over to our lighting expert.

15           MR. STRAIT: Sorry, I'm bouncing back and forth  
16 here. The change we've made to Section 110.9 bring back  
17 into Title 24 some language that we had moved into Title  
18 20. This is non-substantive change. It's actually made  
19 to ensure that changes to Title 20 that happen outside of  
20 the cadence of the Building Standards doesn't cause a  
21 change in the California Building Standards code. That  
22 could create some problems, both legally and on the  
23 ground. So this way they stay on cadence with the  
24 changes that we've made. This applies to the types of  
25 devices listed here. And again, this is not a

1 substantive change.

2           110.9(c), track lighting integral current  
3 limiters, manufacture certification is not required. And  
4 installation certification is not required and properly  
5 labeling equipment is required. This really is to say  
6 that for these devices, we no longer feel that they need  
7 to certify something about the devices, but it doesn't  
8 otherwise change the standards that apply to them. This  
9 just streamlines some of the regulatory process they  
10 would have to go through.

11           Similarly, for track lighting supplementary  
12 overcurrent protection panels, the certification  
13 component is no longer required, but the proper labeling  
14 of the equipment is required.

15           And I'm going to ask our solar subject matter  
16 expert to come up and talk on the changes to the solar  
17 ready requirements.

18           MR. SHIRAKH: Good morning, I'm Mazi Shirakh.  
19 I'm the ZNE Lead for this round of standards.

20           So for this section, the solar ready zone, we  
21 introduced a solar ready requirement in 2016 Standards,  
22 so there'd be a space reserved on the roof for future  
23 installation of PV systems. However, since in the 2019  
24 Standards we're going to have, or are requiring to have,  
25 a PV system to be installed on most homes, so we had to

1 go and take a look at this section and make some changes.

2           We are providing some exceptions to the PV  
3 requirement. And so we felt that for the buildings that  
4 fall under one of these exceptions the solar ready zone  
5 needs to be preserved in case the home owner decides to  
6 install the PV system later on. Or the condition that's  
7 causing that exception may be resolved in the future.

8           So Section 110.10(a) covered occupancies, we  
9 modified the requirements for single family residences  
10 and low rise and multifamily, which is basically the  
11 scope of a PV requirements for this round of standards.

12           Minimum solar zone area for a single residence,  
13 delete Exception 1 for the PV system, basically it means  
14 if you are installing a PV system then you don't have to  
15 have a solar ready zone; and modified Section 3 to allow  
16 all climate zones in wild urban interface areas, with  
17 whole house fans to qualify for the exception.

18           Mandatory requirements for solar-ready  
19 buildings, this minimum solar area for single family  
20 residences, modified Exception 4 to expand allowable  
21 orientation from 90 to 300 degrees of -- some of you may  
22 know that the current solar ready zone only covers 110 to  
23 270. So we're expanding that from on both ends, the east  
24 and west, to cover 90 to 300. We looked at the  
25 effectiveness of the PV system and we found this range

1 actually works pretty well. It also provides further  
2 flexibility to put in a solar system that meets that  
3 requirement, you know, if it's a little bit north of the  
4 west or actually due east.

5           And we also modified exception to 6(b)I to add  
6 another option for EV chargers. So what this is, is a  
7 under the 2016 Standards if you wanted to get out of the  
8 solar ready requirement, we provide this exception, which  
9 basically required you to put in an ENERGY STAR  
10 dishwasher along with some other measures. It might have  
11 been a very efficient whole house fan, so we added  
12 another option to that. And that is to install a Level 2  
13 charger. So if you install an ENERGY STAR dishwasher  
14 along with a Level 2 charger, then you don't have to meet  
15 the solar ready requirements.

16           And the 110.10(b)1B, that's basically the same  
17 requirements, but for multifamily buildings. Similar to  
18 above, we modified the exceptions to expand the range  
19 from 290 to 300 degrees from true north. And we also  
20 modified this exception to add the EV charging  
21 requirements, similar to the single family.

22           MR. STRAIT: All right. Briefly, we've added a  
23 new section, Section 110.12, mandatory requirements for  
24 demand management. What this section does is it  
25 consolidates all the requirements that were in other

1 sections throughout the code that related to demand  
2 responsiveness and expands into this more inclusive idea  
3 of demand management.

4           Section 110.12(a) is probably the most  
5 significant change that's in here. Previously, we had  
6 specified a version of OpenADR 1.1 or SEP. We are  
7 updating that requirement to a requirement of OpenADR 2.0  
8 is required. Other communication protocols are allowed.  
9 And the thermostats must comply with JA5. And there are  
10 some significant -- there are some clean up edits to JA5,  
11 so that chapter is rewritten fairly extensively.

12           Importantly, we are looking for a robust  
13 discussion with stakeholders about how the OpenADR 2.0  
14 requirement is implemented. We've had folks that have  
15 pushed fairly strongly for having the virtual end node be  
16 something that's exists in the cloud but not onsite in  
17 the building. On the other hand, we have some concerns  
18 if the building itself isn't capable of speaking a non-  
19 proprietary language, can that building end up getting  
20 stranded and that demand management equipment not be  
21 able to work if that communication protocol it is using  
22 cannot be used by other entities.

23           Section 110.12(b)(c) and (d) is purely  
24 consolidation. That takes nonresidential HVAC, lighting  
25 and message center requirements and simply moves them

1 into the section. There are no changes in the current  
2 requirements for those classes of equipment.

3           So we've put this like at the end of every  
4 presentation. We strongly encourage submitting comments  
5 via our e-file system. That's an automated system that  
6 lets us most easily track and document all the comments.  
7 Comments can also be submitted physically or by email at  
8 the addresses here. The final deadline for all written  
9 comments is March 5th, by 5:00 o'clock, easy to remember,  
10 March 5th by 5:00.

11           So with that I'd like to open the floor for  
12 comments, for people that have commentary on these  
13 sections.

14           MR. BOZORGCHAMI: Also, these presentations  
15 will be posted on our website on Friday. Excuse me, on  
16 Wednesday. Sorry about that.

17           MR. BERELSON: No problems with the height of  
18 the microphone for me.

19           Good morning, Commissioner McAllister and CEC  
20 staff and stakeholders. I'M Serj Berelson on behalf of  
21 Nest Labs. We thank the Commission for the opportunity  
22 to speak today and support the continued efforts to  
23 improve upon existing Building Energy Efficiency  
24 Standards.

25           Nest Labs provides products and services that

1 contribute to a thoughtful home. Nest products are sold  
2 in 18 countries across the US, Europe and Asia. Of note  
3 for today's workshop Nest manufactures the learning  
4 thermostat as well as the new lower-priced Thermostat E.  
5 Nest thermostats incorporate user friendly features that  
6 present energy efficiency and allow secure remote access  
7 to the thermostat settings. Independent studies have  
8 shown that Nest thermostats can save up to 10 to 15  
9 percent of annual heating and cooling energy usage.  
10 These energy efficiency savings comes primarily through  
11 their ability to create their own efficient schedule, the  
12 ability to go into savings mode when no one is home, and  
13 the ability of consumers to control the thermostat  
14 remotely through their smart phone.

15           As a result, the Nest learning thermostat was  
16 the first thermostat recognized by the federal  
17 Environmental Protection Agency as an ENERGY STAR smart  
18 thermostat. Both Nest thermostats are currently self-  
19 certified under Title 24 for residential and non-  
20 residential uses as owner-controlled smart thermostats.

21           Nest thermostats also have demand response  
22 capabilities. Through our Rush Hour Rewards Program,  
23 Nest is working with dozens of utilities and load  
24 aggregators to help balance electric system loads while  
25 providing tangible benefits to consumers in the form of

1 incentive payments and not unduly reducing their comfort.  
2 The keys to be able to do this are one, the voluntary opt  
3 into the program and two, the customer can always change  
4 their thermostat setting if they're not comfortable. As  
5 an example of this, during the solar eclipse in August,  
6 2017, Nest thermostats contributed 700 megawatts of  
7 curtailed load for the eclipse.

8           Therefore, our comments this morning are  
9 focused primarily on the language proposed for Section  
10 110.12(a), related to demand response capabilities, which  
11 could be interpreted as required utilities and demand  
12 response aggregators to use OpenADR Standards  
13 exclusively, when communicating with the end use device,  
14 in this case the thermostat.

15           While we appreciate the Commission's  
16 contributions to developing the OpenADR communication  
17 platform, limiting demand responsive controls to only  
18 OpenADR is a constraint that is not consistent with the  
19 current and developing market and unnecessarily stifling  
20 of developing technologies.

21           In today's demand response markets, load  
22 serving entities, or LSEs, generally use demand response  
23 aggregators. Demand response aggregators include  
24 companies that manufacture one or two products, such as  
25 Nest, as well as other companies set up with the express

1 purpose of managing large demand response events using  
2 demand response management systems, or DRMS.

3           Such aggregators receive a signal from the LSE,  
4 which may be sent using the OpenADR protocol announcing a  
5 demand response event. Upon receipt of the LSE demand  
6 response signal, the aggregator then communicates  
7 directly to the demand response devices in their  
8 portfolio to implement the demand response event. Demand  
9 response aggregators are not limited to aggregating  
10 single-device types and can aggregate responses from a  
11 wide variety of devices such as thermostats and pool  
12 pumps, as well as different brands of similar devices.

13           It is this signal sent from the aggregator to  
14 the manufacturer and/or demand response devices that in  
15 today's market is typically not sent using an OpenADR  
16 signal. Nor is it necessarily desirable or feasible for  
17 communications platforms to solely utilize OpenADR  
18 signals, given the various security and privacy concerns  
19 posed by our increasingly technology-based society.

20           Given these concerns, Nest has concerns that  
21 the language for Section 110.12(a) proposing the draft  
22 standards can be read as prohibiting the ability of  
23 aggregators to send a signal to end use devices with a  
24 communications protocol other than OpenADR, which would  
25 be a deviation from current market practices and

1 potentially stifle innovation.

2           The current model is thriving. As just one  
3 example, Nest is partners with Southern California  
4 Edison, SCE, in a program where Nest functions as an  
5 aggregator of demand savings from Nest thermostats. SCE  
6 initiates a demand response event by sending an alert to  
7 Nest via OpenADR. Nest reads that alert and communicates  
8 the signal to the aggregated Nest thermostats, using Nest  
9 application program interface, or API, to securely call  
10 on the Nest thermostats in the portfolio to let their set  
11 point temperature rise a couple of degrees, therefore  
12 reducing demand on the SCE system.

13           In this case, the utility, SCE, sends its  
14 signals via OpenADR, but the aggregator, Nest, does not  
15 send its signal to the end thermostats using OpenADR. Of  
16 the dozens of utilities, Nest works with across America,  
17 SCE is the only one that sends trigger signal via  
18 OpenADR, and none of them require Nest to only use  
19 OpenADR to communicate directly to thermostats.

20           As proposed, Section 110.12(a) is too narrow,  
21 focused exclusively on OpenADR. The language should be  
22 revised to be more inclusive, allowing either/or options  
23 that would provide for both OpenADR and other forms of  
24 communications by aggregators of demand response.  
25 Imposing an OpenADR-only requirement on occupant-

1 controlled smart thermostats is unnecessary, non-  
2 consistent with current markets and technology, and could  
3 result in significant disruption of the emerging markets  
4 in demand response, leaving valuable megawatts on the  
5 table.

6 We will continue to work with Commission staff  
7 and other stakeholders to craft more inclusive language  
8 that reflects current markets and technologies. Thank  
9 you.

10 COMMISSIONER MCALLISTER: Thanks for being  
11 here.

12 MR. TAYLOR: Commissioners, this is Gabriel  
13 Taylor, with the Buildings Standards Office; may I  
14 respond?

15 COMMISSIONER MCALLISTER: Yeah. I'm not sure  
16 how we're interacting here, in real time or not. I  
17 guess, my question was -- I kind of had a similar  
18 question, why don't you go ahead, actually?

19 MR. TAYLOR: Yeah. My understanding is that in  
20 general we're not going to be doing a back and forth  
21 discussion. This is a hearing, not a workshop. The  
22 intent here is to hear from the stakeholders, primarily.  
23 However, this is a conversation that we've had with Nest  
24 and I just wanted to clarify one of those points there.

25 You're statement was fairly emphatic that you

1 believe the language required OpenADR and only OpenADR.  
2 I believe the language is very clear that it requires  
3 OpenADR as a minimum, but it does not prohibit any other  
4 communication protocols. Is that your understanding?

5 MR. BERELSON: We wanted to make sure that it  
6 was clear that OpenADR is not a foundational requirement,  
7 but merely one of a series of options.

8 MR. TAYLOR: Understood. And that is my  
9 understanding of the language right now and we can work  
10 on that. But I also wanted to clarify one other point.  
11 You did mention the communications pathways from the  
12 aggregator to the individual devices. It sounded to me  
13 like you were describing the current practice of a cloud-  
14 based virtual end node structure. Is that what you're  
15 requesting? Because that wasn't entirely clear from your  
16 comments. Like, you seemed to focus a lot on the a  
17 perceived prohibition of other communication protocols,  
18 which I do not believe is in the language. But I'm very  
19 much interested in your comments on the cloud-based  
20 virtual end nodes.

21 MR. BERELSON: Yeah. We would prefer a cloud-  
22 based virtual end node.

23 MR. TAYLOR: Okay. And we'd be very interested  
24 in any support that you can provide on how that will  
25 benefit consumers.

1           MR. BERELSON: Absolutely, we will be including  
2 that in our written comments.

3           MR. TAYLOR: Wonderful. Okay.

4           COMMISSIONER MCALLISTER: So just to be clear  
5 though, Gabe. We are asking for every end use -- we are  
6 asking for OpenADR to be there, compatibility to be there  
7 in all cases. And then it's up to the manufacturer of  
8 end or service provider to whether or not they want to  
9 put in other protocols that may be used as well.

10          MR. TAYLOR: Absolutely. The current language  
11 that's in effect, the 2016 code language, requires an  
12 open source communications protocol to the end use  
13 device.

14          I understand that many manufacturers have been  
15 confused by that language and have interpreted it to  
16 allow for a cloud-based virtual end node structure, which  
17 I do not think complies with the open source  
18 communication protocol to the end use device.

19          Our language this year tries to clarify that.  
20 Just clarify that not only as an open source  
21 communications protocol or an open standard communication  
22 protocol required to the end use device, which has been  
23 Commission policy for more than a decade, now. But  
24 specifically we're saying that at a minimum OpenADR  
25 should be available, so that the utilities and the

1 aggregators don't have to speak in dozens of different  
2 languages.

3           But it does not -- I believe it says in the  
4 language, it says must be a virtual end node for OpenADR  
5 2.0a. It certainly doesn't prohibit. There's no  
6 language in there that prohibits or requires "only" or  
7 anything like that. And I'm happy to clarify the  
8 language as necessary to emphasize that point.

9           However, I do want to further emphasize and  
10 we've had this discussion I believe offline, our interest  
11 in hearing from the stakeholders. That cloud-based  
12 virtual end node structure, that is the way that the  
13 industry is working right now. There are a lot of  
14 arguments in favor of that. But that would be a  
15 deviation from current policy. Our current policy is  
16 that open source communication protocol to the actual  
17 device. If we allow for a cloud-based virtual end node,  
18 then we're allowing for a proprietary signal between the  
19 aggregator and the individual devices, such as a Nest  
20 thermostat is an excellent example.

21           There are a lot of advantages to that. We  
22 understand that. But it is a change in policy. So we  
23 need to substantiate that. We need information on the  
24 record that proves, not proves, that demonstrates that  
25 it's beneficial to the end use customer and why.

1 MR. BERELSON: We are happy to demonstrate  
2 that.

3 COMMISSIONER MCALLISTER: So the flip side of  
4 letting markets function is that markets also --  
5 providers also go out of business. And I'm not saying  
6 that's going to happen with Nest. But we could have a  
7 lot of stranded devices out there, depending on which way  
8 the market goes. So the backstop is having some  
9 standardized protocol there ready, which doesn't get in  
10 the way of somebody using their own protocol in the near  
11 term.

12 MR. BERELSON: Absolutely. This is a  
13 discussion that we have thought through internally and  
14 are happy to continue to elucidate that in our comments.

15 MR. TAYLOR: Okay. Thank you very much. I  
16 apologize for interrupting the hearing, the opportunity  
17 for the stakeholders to speak here. I do want to  
18 emphasize that our goal today is to hear from the  
19 stakeholders, not to have these kinds of discussions. I  
20 just wanted to jump in because you're point was so  
21 emphatic, I just wanted to make sure we understood each  
22 other.

23 MR. BERELSON: Thank you.

24 MR. TAYLOR: Thank you.

25 MR. NESBITT: George Nesbitt, HERS Rater. So

1 Section 110.5, the no pilot light section. It refers to  
2 a number of household appliances that may or may not have  
3 traditionally had a pilot light, including fireplaces.  
4 Now, if you go to Section 150.0(e) there's a section -- I  
5 don't have it pulled up on my computer at the moment --  
6 but there is a section where there's some requirements  
7 for things like fireplaces, decorative I think gas  
8 appliances and gas logs, in saying you have to have  
9 things like doors and whatnot. So my question would be  
10 in 110.5, why we would not prohibit pilot lights for  
11 decorative gas appliances or gas logs also?

12           Then Table 110.6(a), there are no default U-  
13 values for triple pane windows, yet we know triple pane  
14 windows have been taking a larger, an increasing share of  
15 the market. And we the Energy Commission, I believe has  
16 even said that triple pane windows are a great compliance  
17 option for the upcoming 2019 code and provide lots of  
18 benefits.

19           We also, in the table 110.6(a), the U-value  
20 table, in 2005 code we used to have a low E credit. So  
21 if you had a window that was low E, you could take a  
22 lower U-value. That was removed I think, in 2008. It  
23 really should be put back in.

24           And then on table 110.6(b), which is the solar  
25 heat gain coefficient table, I've been asking for years

1 the definition of tinted. Because when you're talking  
2 about, especially in existing buildings and you may not  
3 have NFRC values, you can tell if a window is clear or  
4 tinted or not or if it has low E. You're putting stuff  
5 in the computer software and you may be getting credit or  
6 a penalty, based on your default value that you use. And  
7 especially since the proposal to change the default solar  
8 heat gain coefficient in some of the heating-only  
9 climates in the performance path, if you have to take  
10 credit for a clear window, you're actually then going to  
11 get a larger credit than you would deserve. So you need  
12 to define what a tinted window is and that should include  
13 if it has low E.

14 I don't have a section at the moment, but the  
15 section on pools and spas we've required a 36-inch space  
16 for adding solar hot water. It occurred to me the  
17 question would be does that requirement also apply to  
18 manufactured spas? So a spa in a box, as opposed to a  
19 built up spa, site built.

20 MR. STRAIT: What section was that?

21 MR. NESBITT: I'm sorry, I don't have a section  
22 at the moment. It's the pool and spa section. I just --  
23 I added it during the presentation, so I just didn't have  
24 time to look it up.

25 MR. BOZORGCHAMI: So George, while Peter's

1 looking at that, let me -- you brought up your issues  
2 with 150 and burning pilot lights?

3 MR. NESBITT: Yeah.

4 MR. BOZORGCHAMI: Well, 150(e)2 contains  
5 burning pilot lights are prohibited in all products. So  
6 I'm not sure where you get that information on burning  
7 pilot lights not being consistent with 150 --

8 MR. NESBITT: Well, 110.5 says "fireplaces," but  
9 it does not say "decorative inserts or logs". And my  
10 understanding has been in the past that a fireplace was  
11 required to not have a pilot light where decorative logs  
12 and or "decorative appliances" were allowed to have pilot  
13 lights. So it would seem we would want to prohibit all  
14 pilot lights.

15 MR. STRAIT: This is Peter Strait with the  
16 California Energy Commission. I do recall there is a  
17 quirk in federal law about appliance rate as related to  
18 decorative fireplaces. That might be a reason that this  
19 is set up the way it is, but I would have to research  
20 that. Otherwise, I agree in principal, from a policy  
21 perspective standing pilot lights are bad, so.

22 MR. NESBITT: Right. So then the last comment  
23 is on Section -- I don't know if I have it right -- 10-10  
24 or it's the solar ready section. The main issue I have  
25 with this section and have had is Section (e), which is a

1 service panel where you have required a 200 amp service  
2 panel. That's far too big, especially when you get into  
3 multifamily. Who puts in 200 amp service panels on a  
4 multifamily apartment unit? It requires larger service  
5 wires, larger conduits, a more expensive panel. It's  
6 simply not needed, even on a lot of single family homes.

7           The requirement -- well, I believe there is  
8 somewhere also a requirement that you have a space for a  
9 -- it needs to be a two-pole space for a minimum of a  
10 two-pole space for a PV system. But what the electrical  
11 code used to say and I think some of that language has  
12 changed, is that the panel has to have the ampacity.  
13 Used to be the PV system had to be included as a load on  
14 the panel. Although I think they've changed that  
15 requirement, where I think they don't consider it a load  
16 any more. But requiring a 200 amp panel is simply not  
17 reasonable.

18           Another thing that had come up in some of the  
19 various workshops was the issue of also having a space  
20 for EV charging. Having the capacity to have space for  
21 EV charging, as well as you need to have space for  
22 battery storage system. And the reason this is important  
23 is it's expensive to change out service panels. And I've  
24 been on plenty of jobs where the electrician has put in a  
25 subpanel, filled the whole panel with half breakers,

1 there's not more space. So what's it cost every time you  
2 have to back and redo something? It costs a lot of  
3 money.

4 So the idea should be being ready and being  
5 ready by having spent a little bit of extra money to have  
6 the capacity to simply to tap in as needed.

7 MS. PETRILLO-GROH: Good morning. I'm Laura  
8 Petrillo-Groh from the Air Conditioning and Refrigeration  
9 Institute. Thanks for holding these public hearings and  
10 also I appreciated some of the back and forth  
11 conversation on the demand response section, I believe it  
12 was 110.12(a).

13 AHRI has been working with CEE and EPRI on a  
14 standard for variable capacity heat pumps that are demand  
15 response ready, smart equipment. And one is the draft is  
16 currently working its way through committees. And one of  
17 the comments that's come back is the desire to include a  
18 test method for communication through the cloud by  
19 OpenADR, but then on a proprietary system from the cloud  
20 to the end node device. The standard also does include  
21 provisions for testing and signals related to OpenADR  
22 directly to the equipment as well as CTA 2045. But  
23 having the market options, it seems to be highly  
24 desirable for the manufacturers of those products as  
25 well.

1           MR. HARING: Good morning, Rick Haring from  
2 Phillips Lighting, we appreciate the opportunity to  
3 participate in the rulemaking through the comment  
4 process. Just a quick comment on the changes described  
5 in Section 110.9 by Mr. Strait, yeah we support these  
6 changes although we would suggest that there be a  
7 reference in Title 20 that points to the requirements in  
8 Title 24.

9           MR. STRAIT: Simply to clarify, we are working  
10 internally with staff to discuss whether we should or can  
11 make matching changes to Title 20. I don't have the  
12 ability to speak for that team, but we are working  
13 internally on the topic.

14           MR. RAYMER: Yes, Bob Raymer with the  
15 California Building Industry Association and sort of in  
16 response or clarification of a comment that George had  
17 mentioned, back in July of 2015 HCD's regulations for EV-  
18 ready charging facilities took effect in Part 11 of Title  
19 24. And so 100 percent of all new homes that were  
20 permitted after that have to have enough space on the  
21 electrical panel. I realize that that can be confusing  
22 to the general code user, having electrical provisions in  
23 Part 3, Part 6 and Part 11. But the fact is all new  
24 homes have to have that extra space, so we're good to go  
25 with that.

1 MS. WAHL: Hey, Francesca Wahl of Tesla. I  
2 just quickly wanted to follow up on the discussion with  
3 Nest on the OpenADR language. We've also expressed some  
4 concerns there similar to what Nest spoke about, and just  
5 wanted to also reference the fact that at the PUC there  
6 might be some competing standards for distributed energy  
7 resources, under Rule 21 with SEP 2.0, for monitoring and  
8 control. So we wanted to take that into consideration  
9 and will follow up in our written comments as well.  
10 Thanks.

11 MR. BALNEG: Okay. We have an online question  
12 from Jonathan Houle from ecobee. "Will the code  
13 specifically state which building types 110.12 applies  
14 to, for example commercial or residential building forms?

15 MR. STRAIT: So for those sections it's in  
16 110.12, because it potentially applies to both types of  
17 buildings. Some of the requirements that were moved were  
18 non-residential-specific. And those say that that  
19 section applies to non-residential. So Section (a)  
20 applies both to residential and non-residential. And  
21 then the following sections specify that they only apply  
22 to non-residential. We can look at improving the clarity  
23 of that language. Do we have anyone else on line that  
24 has raised their hand to speak?

25 (No audible response.)

1           MR. BOZORGCHAMI: No. Okay. So with that we  
2 can move on to next section?

3           COMMISSIONER MCALLISTER: You know, I want to  
4 make just a color commentary a little bit about the DR  
5 discussion. I know it's an area actually that I have --  
6 in the two IEPR that I've lead in 2013 and 2015, and  
7 actually this past IEPR as well, sort of as part of it  
8 under the Chair's leadership -- have really tried to  
9 force the demand response discussion and have it as a  
10 stand-alone topic. And honestly it's been quite  
11 frustrating, because it's relatively complex. It  
12 happened at the same time we've seen influx of a wide  
13 diversity of distributed technologies, on the demand side  
14 and certainly also on the -- whether they're generation  
15 or storage, or efficiency, controllable efficiency,  
16 dispatchable resources of one form or another.

17           So the fact is this is a very fragmented  
18 marketplace. And if we are going to scale demand  
19 response, we need approaches that actually are simpler  
20 and are at least somewhat standardized. So I would  
21 exhort everyone to sort of look at it from -- certainly  
22 you have to look at it from your own kind of commercial  
23 perspective, but absolutely look at it from a California  
24 policy perspective as well. And try to appreciate the  
25 fact that we need some scale if we're going to get demand

1 response sort of in its rightful place, at the top of the  
2 loading order if you will, right? Otherwise, we're going  
3 to be making lots of investments in hardware that may not  
4 be necessary.

5           Anyway, that's my view. And I'm not expecting  
6 everyone to completely buy into that from your commercial  
7 perspective, but I think from a policy perspective as a  
8 standard-making body, the Energy Commission has to  
9 consider these pathways. And so I really want people to  
10 look at it from the perspective of our state goals and  
11 how we, here at the commission and over at the PUC and  
12 our sister agency can coordinate such that this ecosystem  
13 for demand response, and all the different technologies  
14 that have to plug-n-play within it, can work together.

15           Okay. So that's my ask to all of you, so thank  
16 you.

17           MR. STRAIT: All right. So we're moving on to  
18 Subchapter 7, that's Section 150.0 et seq.

19           For Section 150.0, mandatory features and  
20 devices and wall insulation, we modify the mandatory  
21 minimum wall insulation requirement to R20, specifically  
22 in 2x6 framing.

23           We would note one request we got nearly  
24 immediately, was to also include a U-factor requirement,  
25 so that someone can demonstrate compliance either by

1 meeting the R-value, or by meeting the equivalent U-  
2 factor. And we're working internally on that.

3 In Section 150.0(d), raised-floor insulation  
4 for wood framed assembly, we changed that to make clear  
5 that the requirement of 150.0(d) only applies to wood-  
6 framed floor assemblies. This wouldn't make sense to  
7 measure in other assemblies.

8 In Section 150.0(k), we undertook an effort to  
9 remove a significant amount of redundant language and to  
10 clarify the way each measure is phrased. In addition, we  
11 added language to address step lights and path lights to  
12 provide the same function as a night light and to address  
13 lighting internal to drawers, cabinets and closets. We  
14 also clarified the phrasing of the elevated temperature  
15 requirements to make it clear in applying to lamps and  
16 similar removable products, not to fully integrated SSL  
17 products such as SSL down-light retrofit luminaires.

18 We know that right now in the market we're  
19 getting a lot of questions from folks regarding these  
20 insertable solid state retrofit products. They are  
21 effectively complete luminaires, but they make use of a  
22 housing that's already installed. The ENERGY STAR has  
23 clarified that they treat these as luminaires. We'd like  
24 to make that same treatment, but that is causing  
25 confusion regarding marking. We're looking at ways to

1 resolve that in 2019 and we're trying to get in front of  
2 that as best we can.

3           In Section 150.0(k)2, interior lighting  
4 switching devices and controls, the substantive changes  
5 are that we add an exception to allow ceiling fans to be  
6 controlled by remote controls and added language to allow  
7 installation of occupancy sensors provided they are  
8 initially configured to manual on behavior.

9           The other changes to these sections are  
10 clarifying, so just consistently using the term "control"  
11 rather than "switch" and condensing language used to  
12 specify the outdoor control requirements. These small  
13 changes can be important, because for example, there are  
14 now new types of controls, digital controls, that may or  
15 may not operate by opening and closing the circuit. And  
16 therefore the word "switch" might be read as being more  
17 limiting when all we're asking for is a control behavior.

18           And now for a discussion of the ventilation  
19 system I'm going to ask for our ventilation expert to  
20 speak.

21           MR. MILLER: Jeff Miller, Building Standards  
22 Office. Oh, tell me how to navigate, please.

23           MR. STRAIT: One second, I'm going to have to  
24 put you back in percent mode. There we go.

25           MR. MILLER: Section 150(m)1, mandatory duct

1 insulation requirements were clarified. Our R6 is the  
2 minimum R-value. Otherwise a minimum value of R4.2 is  
3 allowed if the system is verified to be entirely in  
4 conditioned space by use of the leakage to outside  
5 protocol.

6 In reference to Residential Appendix  
7 RA3.1.4.3.8, there are two exceptions to these minimal R-  
8 value requirements. The first exception, portions of the  
9 duct system located in wall cavities are not required to  
10 be insulated as long as they are visually verified to be  
11 located entirely inside the building thermal envelope and  
12 the transition between the wall cavity and the  
13 unconditioned space is air sealed to prevent air  
14 filtration into the cavity and the transition is  
15 insulated to R6.

16 The second exception is that portions of the  
17 duct system that are completely exposed and surrounded by  
18 directly conditioned space are not required to be  
19 insulated.

20 150.0(m)12A, air filter requirements were  
21 expanded to include ventilation systems that use ducts to  
22 bring outdoor air into the building. So now in addition  
23 to requiring air filters for ducted central space  
24 conditioning systems, supply ventilation systems and the  
25 supply side of balanced systems, are required to filter

1 the incoming air.

2           150.0(m)12B, design and installation section of  
3 the air filtration requirements has been revised to  
4 require ducted central space conditioning systems to be  
5 installed with two-inch minimum depth filter, which makes  
6 possible lower pressure drop and higher air flow rates  
7 through the filter.

8           Alternatively, a one-inch depth filter may be  
9 installed, provided the air filter grill and filter media  
10 are designed to meet two performance criteria. The  
11 filter face area is sized to ensure the face velocity is  
12 no greater than 150 feet per minute at the design air  
13 flow rate for that filter. And that's simply the sizing  
14 is to divide the design airflow rate by the face  
15 velocity. And that gives the required area for the  
16 filter.

17           The media installed on the filter grill  
18 conforms to the maximum clean filter pressure drop given  
19 in 150(m)12Dii, which is 0.1 inches of water column at  
20 the design air flow rate for that filter.

21           The 150.0(m)12C air filter particle size  
22 efficiency requirement has been increased from MERV 6 to  
23 MERV 13. This is applicable to central ducted space  
24 conditioning systems, supply ventilation systems and the  
25 supply side of balanced ventilation systems.

1           For space conditioning systems, the air filter  
2 pressure drop requirements have been changed to allow two  
3 compliance options. One a minimum two-inch filter is  
4 specified for the design, the pressure drop and the  
5 design air flow rate for the filter is determined by the  
6 system designer. Otherwise, when a minimum of one-inch  
7 depth filter is specified for the design, the pressure  
8 drop is required to be less than or equal to 0.1 inches  
9 of water column.

10           For all other ventilation systems, the pressure  
11 drop at the design air flow rate for the filter is  
12 determined by the system designer.

13           A little bit more information on pressure drop.  
14 Staff has relied on research that studied the energy and  
15 system effects of MERV 13 filtration. Studies reported  
16 that small, approximately 1 percent increases or  
17 decreases in energy use when using higher MERV filters,  
18 that's MERV 11, 12, 13 and no significant performance  
19 issues. References of this research are submitted to the  
20 docket.

21           Staff reviewed air filter pressure drop  
22 performance data published by manufacturers when  
23 possible, but often manufacturer performance data is not  
24 provided by the manufacturer. At CEC staff request, the  
25 CASE Team has provided the laboratory testing of samples

1 of one inch and two-inch depth air filters in a range of  
2 MERV levels from a variety of manufacturers,  
3 predominantly those that are on the shelf in the big box  
4 stores and predominant on the Internet.

5           The pressure drop varies considerably from  
6 manufacturer to manufacturer. And what's clear is that  
7 MERV level and filter depth is not a reliable predictor  
8 of the filter's pressure drop performance, expected  
9 pressure drop performance as the manufacturer may design  
10 air filters with greater or fewer numbers of pleats, of  
11 the same media type. However, it is clear that two-inch  
12 depth filters have the potential to provide greater air  
13 flow at lower pressure drop and with a reduced faced  
14 area.

15           The Energy Commission has proposed air filter  
16 and label requirements that are expected to make possible  
17 a selection of filters, based on test ratings of pressure  
18 versus air flow. That rulemaking, we expect it to be  
19 completed this year, and have labeled filters available  
20 at the point in time when the standards become effective.

21           This is a graph from one manufacturer of air  
22 filters. And this manufacturer has begun to label their  
23 products using the California Title 20 required label.  
24 Staff plotted the pressure drop performance for MERV  
25 levels of 5, 7, 11, 12, 13 and 14. And the pressure drop

1 performance published for this manufacturer's products is  
2 virtually the same regardless of the MERV rating. And  
3 highlighted in this graphic, is the 0.1 inch water column  
4 design criterion.

5           150.0(m)13 furnace fan efficacy requirements  
6 have been revised. We've added a requirement for a  
7 maximum of 0.45 watt per CFM for gas furnace air handling  
8 units only. The existing requirement for those air  
9 handlers is less than or equal to 0.58 watt per CFM.  
10 Additionally, we've added a requirement for small duct,  
11 high velocity, systems, so a minimum of 250 CFM per ton  
12 and maximum of 0.62 watts per CFM.

13           Fan efficacy is a mandatory requirement in  
14 Section 150.0(m)13. Fan efficacy is also a prescriptive  
15 requirement in Section 150.0(c)10 for central fan  
16 integrated ventilation systems.

17           The return duct design tables in -- that's  
18 Tables 150.0-B and 150.0-C are available as alternative  
19 to HERS verification of fan efficacy. They remain the  
20 same except that the allowable pressure drop for the air  
21 filter has been changed to 0.1 inches of water column.  
22 It previously was 0.05 inches of water column.

23           Section 150.0(o) covers the requirements for  
24 ventilation and indoor air quality. All new buildings  
25 and new additions to existing buildings greater than

1 1,000 square feet are required to meet the ASHRAE 62.2  
2 2016 version, but with the amendments specified in  
3 Section 150.0(o)1.

4           Section 150.0(o)1C specifies a new method for  
5 calculating the ventilation rate, which has two aspects.  
6 The required ventilation rate will be based on a default  
7 dwelling unit enclosure leakage of 2ACH50 for the  
8 infiltration credit portion of the ventilation air flow  
9 rate calculation. Otherwise, if HERS verified enclosure  
10 leakage values are less than 2ACH50 the HERS verified  
11 value will be used for calculating the required  
12 ventilation rate.

13           Section 150.0(o)1E is applicable only to  
14 multifamily dwelling units. The required ventilation  
15 rate will use ASHRAE 62.2, Section 4.1.1, which uses the  
16 basic ventilation rate without an infiltration credit.  
17 And also is required to comply with one of two  
18 alternatives: either use a balanced ventilation system  
19 for the dwelling, otherwise if HERS verification of the  
20 dwelling unit determines an enclosure leakage less than  
21 or equal to 0.3 CFM per square foot of dwelling unit  
22 enclosure area using a blower door test, then the  
23 dwelling may use continuously operating exhaust only, or  
24 continuously operating supply only, ventilation systems.

25           And note that this means that intermittent

1 ventilation control strategies would not be allowed for  
2 this option. However, demand control ventilation, such  
3 as kitchen range hoods and bathroom exhaust fans that are  
4 not use for meeting the Section 4.1.1 ventilation rate  
5 may operate intermittently.

6 Section 150.0(o)1F is applicable only to  
7 multifamily buildings and dwelling units that use  
8 building central ventilation systems that serve multiple  
9 dwelling units. For these systems, the ventilation air  
10 flow rates to each dwelling unit served are required to  
11 be balanced, to be greater than or equal to the ASHRAE  
12 62.2 dwelling unit ventilation air flow rate, and not  
13 more than 10 percent greater than that ventilation rate.

14 The systems are expected to use balancing  
15 devices that ensure the dwelling unit air flows in each  
16 dwelling served by the building ventilation system can be  
17 adjusted to meet this balancing requirement. The system  
18 balancing means may include constant air regulation  
19 devices, orifice plates, and variable speed central fans.

20 Section 150.0(o)2 specifies a new HERS  
21 verification for kitchen range hoods. The HERS  
22 verification will confirm the installed range hood is  
23 rated by HVI to meet the minimum ventilation air flow  
24 rate, specified in Section 5 of ASHRAE 62.2, which is 100  
25 CFM.

1           And that the maximum sound rating specified in  
2 section 7.2 of ASHRAE 62.2, which is 3 sone at an air  
3 flow rate greater than or equal to 100 CFM. And that is  
4 also expected to be at the 0.1 inch of water column. And  
5 I think we'll need to clarify the reference to this  
6 section, just to be sure that that's clear that we expect  
7 the rating to be done at 0.1 inches of water column.

8           Shall I read this again? No?

9           MR. BOZORGCHAMI: Commissioner, before we start  
10 the comment period for this section I want to go back to  
11 one of the earlier slides that Peter Strait had  
12 presented, this one right here. The wall insulation,  
13 modified the mandatory minimum wall insulation to  
14 requirements to R20 for a 2x6.

15           In the code under Section 150.(c)2 we say 2x6  
16 or greater framing shall have an overall assembly U-  
17 factor not exceeding a 0.071, or a R20 in the wood frame  
18 assembly. I wanted -- to be product neutral we're going  
19 to be taking that R20 out and leaving it as a U-factor.  
20 So if anybody wants to do -- is doing a 2x6, they could  
21 meet that U-factor by adding insulation in the cavity or  
22 ridged insulation on the exterior, or using any type of  
23 products but being product neutral.

24           So to us it wouldn't matter if it's spray foam,  
25 if it's glass, if it's any of those or SIP type panel --

1 actually SIP wouldn't meet this because they're not  
2 framed systems -- but we don't want the standards to be  
3 used as a marketing scheme. And I'm proposing that we go  
4 with just a basic U-factor.

5 So with that, I'll leave it up for comment.

6 (Off mic colloquy.)

7 MR. NITTLER: Good morning, Ken Nittler with  
8 Enercomp. On that issue, Payam, on the wood frame  
9 assembly, does this mean there's no minimum criteria if  
10 you don't have a wood framed floor? The term wood framed  
11 assembly was already in that code section saying that it  
12 had to be equivalent of, in the past R19 with wood  
13 framing. And now the wood frame assembly is moved up to  
14 the headline. And basically, it appears to me there's no  
15 -- you've eliminated --

16 MR. BOZORGCHAMI: Yeah, I saw that too. I'm  
17 going to have to fix that, but like I said I'm trying to  
18 be product neutral here.

19 MR. HODGSON: Mike Hodgson, ConSol representing  
20 CBIA, a couple of questions on the mechanical systems and  
21 we've had these discussions with staff and Jeff, thank  
22 you.

23 In I believe it's 150.0(m)12, air and  
24 filtration, the one inch -- there's a two-inch  
25 requirement, but one inch is fine as long as you have the

1 150, the face velocity of 150, maximum face velocity 150,  
2 I guess, CFM. If we have sent this language out to the  
3 multifamily installation HVAC, MEP firms and have not  
4 received comments back yet and we just wanted to let you  
5 know that we've asked that question. Thank you for  
6 giving us an off-ramp here, but we'll get feedback from  
7 the multifamily folks and how that works. So that's  
8 great. I appreciate that.

9 In Section 13B in 150 where we're talking about  
10 the fan/watt draw dropping from 0.58 to 0.45, I  
11 understand that that's being driven by the NECA standards  
12 and the requirements for gas furnaces; is that correct?

13 MR. MILLER: The new federal requirement, yes?

14 MR. HODGSON: Right. And when is the  
15 implementation date for that?

16 MR. MILLER: I don't have it committed to  
17 memory, but we understand that it'll be in effect far  
18 enough in advance for the industry to react.

19 MR. HODGSON: Okay. So I don't remember  
20 whether it's the '13 or the '16 standards, I think it was  
21 the '13 standards, we had the implementation date with  
22 air conditioners. And the issue there was not when the  
23 manufacturers could quit making the units, but when they  
24 could be sold and installed. And so we would like to  
25 have a discussion with staff on the implementation date

1 for this also, to make sure that we're not in that gray  
2 zone of where it is not manufactured, but there is still  
3 a supply that's out there, but oops, they can't be  
4 installed in California. So we need to clarify that, so  
5 we'll follow up with staff on that.

6 MR. MILLER: Okay.

7 MR. HODGSON: Because we'd like to understand  
8 that. And last time in the NECA standards it was very  
9 clearly outlined. We just have to find it and get it  
10 together.

11 In the section on addressing ASHRAE 62.2, which  
12 is (o), there was a comment earlier and I'm not sure --  
13 I just can't find it right now, but it had to do with  
14 labeling. And there was a labeling requirement in the  
15 California code that's been dropped out. And this is a  
16 labeling for the homeowner to understand which switch was  
17 controlling the ventilation fan, the ASHRAE 62  
18 ventilation fan. And I believe in this standard or the  
19 previous one, there was a reference to ASHRAE on how to  
20 label. But we question what that label was. We don't  
21 quite understand what it is and it's now -- I can't find  
22 it in the standards, so I'm not sure if it's even there.

23 MR. MILLER: It's still in 62.2

24 MR. HODGSON: So what we would like to see is  
25 what those exact labeling requirements are. And I

1 believe they refer to the fan and not the switch and the  
2 standards were referring to the switch and not the fan.  
3 So we want to make sure we're all on the same page for  
4 labeling.

5 MR. MILLER: Okay. It's under controls, so it  
6 says there should be an override control that's labeled.

7 MR. HODGSON: Okay. And can you explain the  
8 labeling requirements in 62.2 then for that switch?

9 MR. MILLER: Expect it to be labeled as to its  
10 intended use, unless it's obvious in the case of a switch  
11 for a bathroom fan.

12 MR. HODGSON: Okay. I don't want to belabor  
13 this, but that's really not -- it's not clear to the  
14 industry what to do. And it also seems to cause  
15 implementation of actually running the fans in the field  
16 to be done poorly. So we would like to get some  
17 clarification possibly not in code, but maybe in the  
18 residential manual, to make that better enforcement and  
19 more implementable. Thanks, Jeff.

20 MR. MILLER: Sure.

21 MR. STRAIT: Yeah. Actually, this is Peter  
22 Strait. I know that part of the reason we had for  
23 reducing some of that language in the prior code cycle  
24 was to prevent R code and the ASHRAE code that we were  
25 referencing from being in conflict. But yes, I think

1 that the compliance manual or some other vehicle would be  
2 fully appropriate for that.

3 MR. NESBITT: George Nesbitt, HERS rater. So  
4 150.0(c), the wall insulation since you brought that up,  
5 I think we have always had a minimum specified R-value.  
6 And I would think, in some respects, a 2x6 should still  
7 be specified as a minimum R19. Part of the reason would  
8 be so -- how do I say this -- one issue that's not  
9 addressed in this section, but of course is a requirement  
10 of QII is that you're insulation fills the wall cavity.  
11 So this section, I think needs to say that all air  
12 permeable wall insulation needs to fill the cavity  
13 completely.

14 I think we've all seen 2x6 cavities that had  
15 R13 or R11 installed, in the past. I mean that was not  
16 uncommon and we know that's not a good thing. So by  
17 going to a U-value, I guess in theory -- or I mean with a  
18 U-value you can average the area. So in theory, you  
19 could insulate some areas R11 in a 2x6 wall with a  
20 fiberglass batt, insulate other areas with spray foam and  
21 I guess, in theory, on average you'd be all right.  
22 That's kind of my concern with not stating a) a minimum  
23 and b) stating that wall cavities have to be filled with  
24 air permeable insulation.

25 Then on 150.0(d), the raised floor, I guess

1 kind of to -- so if I build a raised slab, there's no  
2 minimum insulation requirement?

3 MR. STRAIT: No.

4 MR. NESBITT: If I build a steel building, with  
5 a steel framed floor, there's no minimum requirement?

6 So, okay, it's one thing to have a requirement for wood  
7 floors, but shouldn't there be minimum requirements for  
8 other things too?

9 MR. STRAIT: So just one point of  
10 clarification, and I probably wasn't clear with this in  
11 the presentation. But the issue with this section, which  
12 is 150.0(d), is that at the end of that section it said  
13 "any wood framed assembly." And so we moved that up to  
14 the top of the section, so that it was clear to the  
15 reader that that particular provision only applied to  
16 that circumstance. That doesn't say that there is not a  
17 requirement elsewhere in the code.

18 MR. NESBITT: So then back to the 150.0(e)2,  
19 back to my issue about the decorative appliances and gas  
20 logs, so in 2 it does say a continuous burning pilot  
21 lights in the use of indoor air, for cooling a fire box  
22 jacket when that indoor air is vented to the outside of  
23 the building, are prohibited. I still don't think  
24 standing pilot lights are a good idea. Although up  
25 above, you say you're supposed to have a door I can tell

1 you, I've seen people put in decorative logs or things  
2 with a standing pilot light in an open fireplace.

3           We should also be prohibiting unvented  
4 combustion appliances. Sadly with the exception of the  
5 stove/oven in the old days the ovens actually did have a  
6 vent pipe to the outside.

7           Moving on to Section 150.0(j)A, I believe. On  
8 pipe insulation you've I guess punted, essentially punted  
9 to the plumbing code. But at the same time you are  
10 requiring a minimum of one inch of pipe insulation. So  
11 one inch of fiberglass or one inch of the polystyrene or  
12 one inch of the, well like Armaflex, the kind of material  
13 that's used on air conditioning lines. Those have  
14 different R-values.

15           So if you want to be -- I mean so if you're  
16 going to require a minimum thickness you're actually  
17 requiring different R-values and at different cost. And  
18 the cost of air conditioning, the type of material in  
19 that is far greater. So what I have asked for, for years  
20 and years, is that the pipe insulation chart actually be  
21 based on R-values for the different temperature  
22 conditions, as opposed to a thickness, or something.

23           And additionally, you're requiring pipe  
24 insulation on only three-quarter or one-inch pipe. So if  
25 someone installs an inch-and-a-quarter pipe, or an inch-

1 and-a-half pipe, or a larger pipe, they don't have to  
2 insulate it. So I believe you really want that language  
3 to say, "All three-quarter inch or larger pipe should be  
4 insulated."

5 MR. TAM: So I think you might be misreading  
6 that section, but yeah to your first point if you go to  
7 120.3, the table, we did add the R-value for the  
8 equivalent thickness that you've been asking for.

9 MR. NESBITT: I haven't seen the table.

10 MR. TAM: It's in 120.3. And the one-inch  
11 requirement has been there since 2013. I understand the  
12 different type of insulation though, different R-values  
13 (indiscernible) --

14 MR. NESBITT: And I've been probably been  
15 raising it since 20 (indecipherable) --

16 MR. TAM: So it just for a simplification we  
17 asked for one inch, knowing that some insulation has  
18 higher R-value. But it's not our intent to not require  
19 pipe insulation above a certain level. It just saying  
20 within those conditions, you need one inch insulation.  
21 And otherwise you have to go with the plumbing code,  
22 which requires pipe insulation on all pipes.

23 MR. STRAIT: This is Peter Strait. To clarify,  
24 the requirement in Section 609.11 of the California  
25 Plumbing Code does apply to one inch and higher. So

1 there's a -- and it's the requirement scales based on the  
2 thickness of the pipe. So we're saying follow that. And  
3 then in addition, for these areas where 609.11 would have  
4 required less insulation than what was specified in the  
5 2016 version of Part 6, those areas are the ones we're  
6 specifying continue to meet that minimum one-inch  
7 requirement that we've had. So we're not punting so much  
8 as aligning with the California Plumbing Code. This was  
9 adopted in the plumbing code in 2016 and we want to make  
10 sure that our language and theirs is consistent.

11 MR. NESBITT: Okay. Well, if the plumbing code  
12 includes one inch, then you don't need to include it in  
13 the energy code and you just need to say three-quarter.

14 MR. TAM: So those sections, the requirement is  
15 less than ours. That's why there's a little disconnect.

16 MR. NESBITT: Okay. Well, then it would just  
17 be clearer to state what you want. I mean in a simple  
18 table that says R-value, because when I buy pipe  
19 insulation it is stamped on it what the R value of it  
20 is.

21 MR. STRAIT: So just to point it out, this same  
22 section, this is under Part B, we've added reference to  
23 Section 120.3. And this was previously a reference to  
24 Table 120.3-A. That's where you get directed to 120.3  
25 and we did add the table with the R-values over there.

1 We're not discussing the non-residential changes in this  
2 setting, but if you have comments in that section, we'd  
3 be willing to hear them today.

4           MR. NESBITT: Okay. You also removed language  
5 in this section, I guess saying piping between storage  
6 tank and the heating source, buried pipes and whatnot.  
7 The other thing is then the requirement or then the  
8 exception for pipes that are buried within the  
9 insulation. And so you require a minimum of one-inch  
10 coverage for that.

11           So in walls that requires QII. But I guess in  
12 floors and ceilings, people do a good job installing  
13 insulation. And I'd also like to point out that -- is  
14 that one-inch cover in a ceiling with blown-in cellulose  
15 before or after the cellulose settles? And what about  
16 when the wind blows it away? Or the electrician who goes  
17 up there, or the cable guy, or whoever it was and stomps  
18 the insulation or moves it around so they can do whatever  
19 they do. Especially in an attic, it needs to be deeper  
20 buried than one inch. That would be my comment.

21           Then on Section 150.3(b), which is in exterior  
22 lighting, basically I think if I'm understanding it  
23 right, you're saying that a building with four or more  
24 units has to require what the outdoor -- the non-res  
25 outdoor lighting requirements? Is that --

1           MR. STRAIT: If that's a question, the changes  
2 to those requirements are we simply consolidated two  
3 sections. There is no change in the requirement for  
4 2016.

5           MR. NESBITT: But is that correct that it  
6 basically is saying you're complying with the non-res?  
7 In my understanding in non-res, for high-rise,  
8 multifamily residential units, it falls under the  
9 residential lighting. And if the exterior lighting is  
10 controlled from in the apartment it falls under the  
11 residential, so I'm just wondering if there's a --

12           MR. STRAIT: So the specification is for low-  
13 rise residential buildings with four or more dwelling  
14 units, any outdoor lighting for residential parking lots  
15 or car ports, so eight or more vehicles per site, any  
16 outdoor lighting not regulated by Sections 150.0(k)3B or  
17 (k)3D, shall meet the non-residential requirements. So I  
18 think the scope there is fairly straightforward.

19           Then we have here the low-rise residential  
20 buildings with four or more dwelling units, outdoor  
21 lighting for private patios, entrances, balconies,  
22 porches, residential parking lots and car ports with less  
23 than eight vehicles per site, shall either comply with  
24 150.0(k)3A, or they have the option of complying with  
25 non-residential requirements. So this gives flexibility

1 --

2 MR. NESBITT: Okay.

3 MR. STRAIT: -- rather than mandating.

4 MR. NESBITT: Okay. But I do remember there is  
5 an exception in the non-res for if it's controlled from  
6 the apartment.

7 MR. STRAIT: That's correct.

8 MR. NESBITT: I was just wondering if it was  
9 somewhat circular or confusing.

10 So on to 150.0(m)12 I believe, so this is the  
11 section on filtering for supply ventilation. A couple of  
12 things. I'm wondering if requiring filtration on supply  
13 ventilation does not discourage people from using it.  
14 Plus, the requirement is that if it's ducted it's only  
15 filter if there's more than ten feet of ducts. Yet, it's  
16 required on a balanced ventilation system as well as any  
17 supply-only ventilation system. So I'm kind of wondering  
18 why ten feet doesn't make any sense. So a) what that  
19 would apply to, but does it even make sense?

20 MR. STRAIT: We're considering simply saying  
21 "ducted systems." The thing that we want to be clear  
22 about is that we're not requiring not ducted systems to  
23 comply.

24 MR. NESBITT: Okay. Then state that ducted  
25 supply only systems must be filtered. Non-ducted supply

1 only systems or supply systems don't have to be filtered.

2 I mean that sounds so --

3 MR. MILLER: I understand your comment.

4 MR. STRAIT: Just to specify this was based on  
5 an earlier comment that we've heard from manufacturers of  
6 ductless equipment that occasionally what they will do is  
7 they will install one terminal above two rooms and use a  
8 short like two-foot run to have that one terminal serve  
9 two rooms. But it still using a non-ducted piece of  
10 equipment. So there's a question whether if we just said  
11 non-ducted and didn't have a minimum size, whether it  
12 would rule out that approach. Because we were sensitive  
13 to having to put a filter in addition to the filter on  
14 the equipment in that system. And we really don't want  
15 to limit -- we don't want to get -- cause any more  
16 disruption to some of that stuff. Nonetheless, I agree  
17 that the simpler language would be preferable to that.

18 MR. NESBITT: Then the simple solution would be  
19 to say, "All supply ventilation systems that are ducted  
20 more than ten feet have to be filtered." That's it. You  
21 don't need anything else. It has nothing to do with  
22 balance or supply only. It's laying for the duct.

23 MR. MILLER: Well, actually we do want incoming  
24 air to be filtered whether it's ducted or not. Space  
25 conditioning systems recirculate air and it's those types

1 of systems, some of them are ducted and some of them are  
2 not. We would not require higher MERV filters for not-  
3 ducted space conditioning systems. That's what we want  
4 to be clear on.

5 MR. NESBITT: It would be more clear if it was  
6 more clear with -- if your language actually reflected  
7 what you want.

8 So 150.0(m)12A2, so on the filter size. I mean  
9 I understand the issue with filters and size and pressure  
10 drops and all that, but when I size a return grill all  
11 the tables are based off of a maximum of about 350 feet  
12 per minute. And so you're saying if I have a one-inch  
13 filter, I have to stay below 150 feet per minute.

14 And then you also, for I guess the one-inch  
15 filters, want to restrict the pressure drop. My concern  
16 here is we want to go to higher MERV, which on average  
17 probably means a little more pressure drop, we have a  
18 serious problem with air flow, because people don't  
19 design systems. They don't size ducts right, they don't  
20 size grills right, they don't size their return grills  
21 right. So basically, you're saying I can put in a two-  
22 inch filter. I could greatly undersize it, go to 500  
23 feet per minute. But technically I've basically met the  
24 code, because I put in a MERV 13 and a two-inch, whether  
25 I did the right thing.

1           MR. MILLER: Well, you would also have to pass  
2 fan efficacy for that scenario. It's the flexibility  
3 that is needed to be available.

4           MR. NESBITT: Right. But I just wonder if it  
5 would be better to state what size filter, thickness  
6 filter you use, but just state a maximum face velocity  
7 and a maximum pressure drop. And you have to size it,  
8 whether you want to go to a one-inch or two-inch or a  
9 four-inch as opposed to --

10          MR. MILLER: We've attempted that in the past,  
11 but found that some systems require the flexibility to  
12 design for higher pressure drops. And so we have to  
13 allow that as what we expect them to do is to be able to  
14 pass fan efficacy, the watt per CFM.

15          MR. MEYER: Okay. Just for the second time I  
16 think it's been -- we'll just try to wrap your comments  
17 up and just get them in writing, because some of these  
18 are getting a little technical. And then we can respond  
19 to your comments in writing.

20          MR. NESBITT: I just had a couple of more  
21 comments. On the air flow measurement, the 350 CFM per  
22 ton, in a number of places you refer to it as being high  
23 speed, but I would like to remind you that you can select  
24 speeds on furnaces. It should be ideally at the  
25 operating speed.

1           So then in 150.0(n), which is the water heater  
2 section, you have -- we've added requirements I think in  
3 2013, to do -- essentially pre-plumb it for a tankless  
4 water heater or another high-efficiency condensing tank.  
5 I was noticing that in 1(a), you're requiring a 10 gauge,  
6 120 volt wire. And that seems a) big, because that's  
7 actually bigger than a 20 amp circuit. And most water  
8 heaters that require electricity would not even need a 15  
9 amp circuit. But it also raises the issue of being heat  
10 pump ready. There you would need a 240 volt circuit. So  
11 the question should be, should we be requiring a 240 volt  
12 circuit be run to the water heater locations, so someone  
13 can put in a heat pump?

14           Another issue I kind of came up with is if you  
15 have an all-electric house and you have an electric water  
16 heater, do you still have to install the 200,000 BTU gas  
17 line? I did not notice an exception on that, so maybe  
18 there one. Maybe I didn't catch it last night.

19           MR. TAM: So George that requirement I think is  
20 specifically for gas water heaters. So if you install a  
21 heat pump, then you will not need to run the gas line.

22           And to your first question about the 10 gauge,  
23 that is intent to allow easy replacement for heat pump  
24 water heaters in the future. That's why it says  
25 "dedicated," so in the future they can switch out the

1 circuit.

2 MR. NESBITT: But a 10 gauge 120 won't do it.

3 MR. TAM: Right (indiscernible) --

4 MR. NESBITT: A 10 gauge, 220 would, but that's  
5 not what you're asking for.

6 COMMISSIONER MCALLISTER: Hey, George let's --  
7 I want to just reiterate what something that Christopher  
8 said just a little while ago, some of this stuff is  
9 highly technical. And we're not here to work through all  
10 the details, but have your comments in writing so we can  
11 respond in kind. Thanks.

12 MR. NESBITT: One last -- under 62.2, I don't  
13 think you stated a reference year in the codes. I did  
14 not see a reference year.

15 MR. MILLER: In 150.0?

16 MR. NESBITT: Yeah. I did not notice a --

17 (Off mic colloquy.)

18 MR. MILLER: Okay. Yeah.

19 MR. NESBITT: And then you need to remove the  
20 infiltration credit for the blower door for the  
21 ventilation rates.

22 MR. RICH: Curt Rich, North American Insulation  
23 Manufacturer's Association. I want to speak back to the  
24 mandatory feature requirement on 2x6 wall assemblies.

25 We support the move to R20 and the rational for

1 that is the current requirement of R19 insulation in a  
2 2x6 cavity, that's a typically for fiberglass insulation.  
3 That's a six-and-a-quarter inch thick product. When put  
4 in that cavity, it has to be compressed to five-and-a-  
5 half inches. And so you're actually seeing a delivered  
6 R18 in that product. So moving to an R20 product  
7 delivers that R20.

8 I think I'd raise concern with the comment made  
9 by staff that a need to express that only as a U-value.  
10 Insulation, thermal performance can be expressed either  
11 in terms of an R-value or a U-value. R-value is not  
12 product specific. All insulations types can be expressed  
13 in either of those terms. I think it's important to  
14 remain consistent and express that requirement both as R-  
15 value and as U-value, going forward. To not do that  
16 would I think, interject a lot of uncertainty in the  
17 marketplace. If a builder were to purchase insulation at  
18 a big box store they're going to see that insulation on  
19 the label expressed typically, in R-value. U-value would  
20 be in the fine print. And so I just think that you  
21 should remain consistent with the code as currently  
22 written, in terms of providing that option, both R-value  
23 and U-value. And I don't think you lose the ability to  
24 say that you're product agnostic in doing that.

25 MR. BOZORGCHAMI: So Curt, the reason I said

1 that is not based on glass, I know glass couldn't meet  
2 the R20 in a five-and-a-half inch thick cavity. The  
3 problem I'm having is having spray foam, open cell spray  
4 foam trying to meet the R20 in the five-and-a-half inch  
5 cavity. They can't really get up to an R20. They get  
6 close, but not there. So someone might -- one of the  
7 major builders here using spray foam is going to have do  
8 something else like add in continuous insulation to make  
9 up that U-factor.

10           The basis of our study that we did isn't R20,  
11 you're right. But I just want to make sure that we're  
12 product neutral and we could get that part of the market  
13 still to play in the game of insulation.

14           MR. RICH: And I think you accomplish that by,  
15 as the proposed change provides, expressing it as R20 or  
16 a U-value of 0.071.

17           MR. BOZORGCHAMI: Fair enough.

18           MR. RICH: Thanks. Thank you, (indiscernible).

19           MS. PETRILLO-GROH: Laura Petrillo-Groh, Air  
20 Conditioning, Heating and Refrigeration Institute. We've  
21 got the for Section 150.0(m)13, I believe it's C, the  
22 federal furnace fan efficiency rulemaking comes into  
23 force July 3rd, 2019. So all products manufactured on or  
24 before that date now have to comply with the new federal  
25 test procedure.

1           And I do appreciate that additional testing was  
2 conducted for this measure, for the proposal that CEC has  
3 brought to the floor. But just to restate, there's no  
4 calculable method to connect the federal FER metric to  
5 what Title 24 is achieving with their fan efficacy  
6 proposal. The additional testing did look at a lot of  
7 ten furnaces for this. However there is concern for  
8 minimum efficiency, particularly package products, that  
9 there may be some stranded inventory, or it would be to  
10 some complicated situations between homeowners, builders,  
11 distributors and manufacturers. Because there will be  
12 inventory in distribution that is federally compliant  
13 after that July 3rd date.

14           So we would request that CEC include some way  
15 to tie back the date of manufacture to this new fan  
16 efficacy proposal to ensure that these compliant products  
17 are allowed to continue to be allowed to be installed.

18           MR. PENNINGTON: And could you submit your  
19 comment in writing?

20           MS. PETRILLO-GROH: Yes. Of course.

21           MR. PENNINGTON: Right.

22           MR. BOZORGCHAMI: Did you say that's July 3rd,  
23 2019?

24           MS. PETRILLO-GROH: Yes. And for 150.0(o), we  
25 appreciate harmonization with 62.2. We understand that

1 some of the measures being proposed to be adopted by  
2 Title 24 2019 are draft addenda for 62.2. So while a  
3 year may be worthwhile to be cited, there are some  
4 citations that probably will not go back to the current  
5 edition of 62.2.

6 For 62.2, the standard uses attached and non-  
7 attached when describing the dwelling unit, a suggestion  
8 my colleague made when reviewing this text is that CEC  
9 make clear how this relates to multifamily units. He  
10 noted that someone could misinterpret an attached  
11 dwelling as a single-family dwelling and misapply  
12 requirements. So I'll also submit that in writing, but  
13 just a not for you all today. Thank you.

14 MR. BOZORGCHAMI: Okay.

15 MR. STRAIT: Just to clarify the edition or  
16 year of the test procedure we referenced is specified in  
17 the definition Section 100.1. We also specify them at  
18 the back of the document and in documents incorporated by  
19 reference section. So they're not present in-line in  
20 this section, but they are present in the code.

21 MS. JENKINS: Good morning Commissioner  
22 McAllister and everyone. I'm Peggy Jenkins and I manage  
23 the California Air Resources Board's Indoor Air Quality  
24 Program. And thank you for providing this opportunity to  
25 comment on the Title 24 proposed changes.

1           ARB supports the amendments proposed by your  
2 staff. And I would just like to highlight our support of  
3 two priority proposals. And if I have this correct these  
4 apply to Sections 150.0(m)12, 150.0(o)2B. And it also  
5 applies to some of the non-res sections, 120.1(c) and  
6 120.1(b), 2(b).

7           We fully support your efforts to maintain and  
8 improve both indoor and outdoor air quality while  
9 pursuing increased energy efficiency in California  
10 buildings. We especially support your staff's proposal  
11 to require high efficiency air filters for all new  
12 buildings statewide for new HVCA systems installed in  
13 existing buildings. We also support the proposal for  
14 verification of the Home Ventilating Institute certified  
15 product ratings for kitchen range hoods. We believe  
16 these measures are needed to protect public health. And  
17 they are consistent with ARB-funded research as well as  
18 CEC-funded research.

19           Regarding MERV 13 filtration, based on our  
20 current research findings we believe this action would  
21 reduce indoor particle levels by 50 to 90 percent in new  
22 homes and buildings depending on factors, of course such  
23 as tightness of the building, opening of windows and how  
24 often the central system is operated.

25           And even a 50 percent reduction in indoor

1 concentrations of particles will result in a significant  
2 reduction in exposure and potential health impacts.  
3 Because of course as a population, we spend most of our  
4 time indoors and the greatest amount of that time is in  
5 our homes.

6           Because state policies especially SB 375, the  
7 Sustainable Communities and Climate Protection Act, now  
8 promote the siting of new construction in in-fill areas.  
9 We believe this reduction in indoor particle levels will  
10 be especially timely in preventing increased exposures to  
11 particles in new homes. In addition a new bill, AB 617,  
12 was signed last year, with the ultimate goal to reduce  
13 air pollution exposures in environmental justice  
14 communities where a population often experiences higher  
15 exposures to air pollutants than others. And we believe  
16 the proposed code requirement for higher efficiency  
17 filters would help achieve the exposure reduction goals  
18 of AB 617.

19           Particulate pollution is especially burdensome  
20 in California, as I think we all know. But it by far  
21 accounts for the greatest percentage of health impacts  
22 attributable to air pollution. Those impacts include  
23 increased cardiovascular and respiratory disease,  
24 increased emergency room visits and even premature  
25 deaths. Our current estimate for the PM 2.5 exposures

1 that result in premature deaths in California each year  
2 is 7,200 premature deaths.

3           The Commission's staff have done an excellent  
4 job in highlighting the seriousness of this particulate  
5 pollution problem throughout our state with maps showing  
6 that a majority of our state, especially the most  
7 populated areas, do not yet fully meet the state and  
8 federal ambient air quality standards for PM 10 and 2.5.  
9 And this is despite ARB's and EPA's extensive regulation  
10 of motor vehicles and local agencies' regulation of  
11 stationary sources that emit particles.

12           The use of higher efficiency filters,  
13 statewide, is a straightforward approach to reducing the  
14 impacts from particles. And we do support the state wide  
15 application of this requirement, as proposed by your  
16 staff, rather than a regional requirement, which was  
17 discussed extensively I think during the case studies for  
18 several reasons. One, of course the infill  
19 considerations. Also just that most of the state  
20 experiences unhealthy levels of particles at some time  
21 during the year. But also because of the changing  
22 climates and recent disasters we really cannot predict  
23 where future accidents will occur. Our best estimate is  
24 that they're going to continue to occur in different  
25 locations throughout the state.

1           The statewide requirement will also provide  
2 equal protection to all citizens in new construction.  
3 And also will make implementation and enforcement much  
4 easier.

5           Based on our review of the ARB-funded study  
6 results, the scientific literature and government  
7 reports, last year our agency issued guidance  
8 recommending high efficiency filtration in new  
9 construction in infill areas and near busy roadways.

10           While, frankly we would prefer to see MERV 16  
11 filters required in order to remove a greater percentage  
12 of the smaller particles that produce the most harm in  
13 the lung, we do nonetheless, support the proposed MERV 13  
14 requirement, based on greater ease of implementation and  
15 enforceability.

16           We also concur with the proposed requirement  
17 for two-inch deep filter slots, or the one-inch slots for  
18 systems meeting the specified air flow performance  
19 criteria. Research results that we have seen, as well as  
20 information from CEC staff, show that air flow resistance  
21 differences between MERV 13 filters and MERV 6 or 8  
22 filters are truly minimal and are readily dispensed with,  
23 by for example, using a deeper filter.

24           In a recent study conducted for ARB staff at  
25 the Laurence Berkeley National Laboratory found that a

1 one-inch MERV 13 filter reduced air flow by 4.9 percent,  
2 but a deep pleat MERV 16 filter reduced air flow by just  
3 2.7 percent. And then more recently the CEC staff  
4 identified even lower air flow reductions of 1 percent in  
5 very commonly used filters. And the other thing is I  
6 would add if you look at the current market share the  
7 public is buying higher efficiency filters at a much  
8 greater rate.

9           So finally, we also agree with the low costs  
10 that are estimated by the Commission staff for compliance  
11 with these requirements.

12           CARB also supports the proposed requirements  
13 for HERS verification of the HVI certified ratings for  
14 installed kitchen range hoods. Cooking and gas stoves  
15 can emit hundreds of chemicals, many of which are toxic  
16 and harmful to health. Range hoods are commonly used, of  
17 course, to remove the pollutants and odor and moisture  
18 generated by cooking. However, many of the installed  
19 kitchen range hoods cannot provide adequate protection,  
20 often because the air flow is too low and sometimes  
21 because they're too noisy. So people don't use them.

22           It is critical to verify the HVI certified  
23 ratings for the installed kitchen hoods. I would note  
24 that for a number of years our building code has had this  
25 requirement, that range hoods used need to meet the HVI

1 requirements. So the proposed action is simply to verify  
2 that installed hoods do meet this longstanding state code  
3 requirement.

4           And very quickly, we do also support the  
5 multifamily provisions that were discussed regarding  
6 ventilation and filtration. This is because we do  
7 believe those in multifamily dwellings deserve the same  
8 level of protection and care as those in single family  
9 homes.

10           And finally, last but not least, I may not be  
11 able to attend tomorrow's hearing. I wanted to comment  
12 very quickly that we also support your staff's proposal  
13 to retain the current minimum ventilation rate  
14 requirements for non-residential locations. While a  
15 change to the ASHRAE recommended rates would align our  
16 rates with those of others, we found that a number of the  
17 key building uses, such as classrooms in particular,  
18 would have a reduced minimum ventilation rates compared  
19 to the current rates. And we believe that these would  
20 not be sufficiently health protective for the occupant  
21 populations.

22           So again thank you for the opportunity to  
23 comment and I'm happy to answer any questions.

24           COMMISSIONER MCALLISTER: Thank you very much  
25 for being here. I want to just highlight that energy

1 efficiency and air quality really go hand-in-hand and  
2 have for a long time. And tight envelopes is one place  
3 where we need to pay attention and I really appreciate  
4 your presence and your assistance really, for helping us  
5 keep our eyes on those issues as well.

6 We know that particulates and other criteria  
7 pollutants are a big deal in California, remain so even  
8 though our air's a lot better than it was back in the  
9 day. But we still have a lot of issues and they're a  
10 little more pernicious actually than they were back then.  
11 So I think our partnership with the ARB is really a very  
12 positive critical thing for us to get where we need to go  
13 as a state. So thank you very much.

14 MS. JENKINS: Sure. Thank you and we  
15 definitely appreciate your sensitivity to the air  
16 pollution needs. Thank you.

17 MR. BOZORGCHAMI: Peggy? Peggy, could I have  
18 you docket that document. That was just too much to  
19 write. Could you docket that for us, that was just too  
20 much to write.

21 MS. JENKINS: Great, (indiscernible)

22 MR. BOZORGCHAMI: Beautiful. Thank you so  
23 much.

24 MR. ROSE: Hello. I'm John Rose. I'm with the  
25 Home Ventilating Institute. That's HVI. And thank you

1 for allowing us to comment today. HVI certifies the  
2 performance of residential ventilating products third-  
3 party tested, and we publish an on-line directory of  
4 those performance ratings. The HVI ratings are then used  
5 by agencies such as ENERGY STAR or ASHRAE and CEC to set  
6 thresholds that they would like to be achieved. So  
7 there's no set minimum for HVI ratings. We test it and  
8 rate it and that's what it is.

9           So we've been working with CEC staff on item  
10 150.0(o)2B. And we'll follow up with comments soon as  
11 that work finishes up and continues. But we'd like to  
12 request that the Energy Commission amend the regulation  
13 or reference to allow rating for sound according to HVI  
14 procedures. There's a bit of a disconnect, particularly  
15 where range hoods and microwaves are concerned, where the  
16 way that HVI ratings are presented. So we believe that  
17 CEC understands the importance of the issue and want to  
18 just ensure that references to HVI certified ratings are  
19 in alignment with common rating practices, so that raters  
20 can determine whether or not a product complies using the  
21 readily available ratings in our online certified  
22 products directory.

23           So with that said, I just want to ensure that  
24 we don't get it wrong in such a way that would result in  
25 a burdensome and costly retest for the industry. The

1 ratings are out there and easy for anybody to access.

2 Anybody have any questions?

3 COMMISSIONER MCALLISTER: Thanks for being  
4 here.

5 MR. FISHER: Can you hear me?

6 MR. BOZORGCHAMI: Yes.

7 MR. FISCHER: Mike Fischer with Kellen Company.  
8 I'm speaking for the American Chemistry Council Spray  
9 Foam Coalition, which is a partnership between the  
10 American Chemistry Council's Group from the Center for  
11 Polyurethanes Industry and also SPFA, the Spray  
12 Polyurethane Foam Alliance.

13 These hearings are conflicting with the  
14 International Roofing Expo, so I'm here all by myself  
15 although we do have some help in the back, from Lindsey  
16 from ACC. But I'll be flying from here to New Orleans to  
17 hit the Roofing Expo. So at least I got to watch the  
18 Super Bowl on my in-flight screen in front of me in Seat  
19 15A last night.

20 Just a couple of quick comments. There was a  
21 discussion back and forth between Curt Rich and Payam  
22 earlier. I think the issue that we have on the R-value  
23 prescription for the SPF is really more around some of  
24 the publications in the -- not in the materials that  
25 we're calling it an R21 is the baseline for the case, I

1 believe.

2 If you actually are looking at R20, there are a lot more  
3 products that comply. R21 really is where it kind of  
4 kicks over.

5           So speaking for SPFA who's not here, but also  
6 for SFC, we do believe the U-factor approach is what  
7 everything should be based on. And the reason for that  
8 is the same builders who have to deal with this for the  
9 walls can look at the appendices. All the combinations  
10 of cavity and continuous that you can do with different  
11 framing types, you have all those options laid out in a  
12 really nice matrix. And frankly, we would love to see  
13 ICC take that into the model code. We've tried. We'll  
14 keep trying. But that seemed to me to make more sense.

15           I say give the builders some credit. They can  
16 figure out how to buy windows where they don't have an R-  
17 value. They only have a U-factor. I think having that  
18 information spelled out in the code will be helpful and  
19 they can do that. So we would urge that we focus on U-  
20 factor going forward for that reason.

21           The second issue I want to put on the record  
22 and there will be public comments filed on this. goes  
23 back to the issue -- this is a long standing discussion -  
24 - on the role of air impermeable insulation in high-  
25 performance attics and where the ducts are located inside

1 of the conditioned space.

2           The ICC actually exempts builders from having  
3 to do the duct testing requirement, (indecipherable)  
4 testing if the ducts are inside the thermal envelope. I  
5 understand the reason to want to verify some of that out  
6 here, because you pay a greater attention to installation  
7 and quality insulation here in California. And we get  
8 that. But we think that enough data has been submitted  
9 to the CEC over the past six years I believe, that  
10 indicates there's real world performance differences  
11 between some of these products. So we're going to  
12 revisit that issue in the public comment process. I  
13 don't know that we have a solution that we can work on,  
14 but I do think there has to be some consideration given  
15 to ducts that are inside the thermal envelope and inside  
16 the air barrier that have air impermeable insulation as  
17 the baseline for that. That's a different system.

18           If you really want to take forward the high  
19 performance attic, finding some cost benefit for the  
20 builders, some incentives, some carrots to do that by  
21 taking a way that duct leakage test requirement when your  
22 burying everything inside essentially what becomes  
23 conditioned space, that would be a good carrot to dangle  
24 on the cost side. And we think you should consider that.  
25 Frankly, that cost reduction should have been included in

1 the case for those applications that use that solution.

2 Other than that, I'll echo Commissioner  
3 McAllister's comments when he started about the work the  
4 staff did. You guys, I know have been busy, I've been in  
5 Sacramento too many times. But that's what we all get  
6 paid to do. Thank you very much.

7 COMMISSIONER MCALLISTER: Thanks for your  
8 comments.

9 MR. MCHUGH: Jon McHugh, McHugh Energy. I just  
10 wanted to make my comments in support. I think we're  
11 getting to final strokes towards a Zero Net Energy  
12 Building Standard. And this is a lot of work that's been  
13 a long time in waiting, since 2008. So it's really  
14 enheartening to see the progress that we're making.

15 I have a few minor comments about on the  
16 standards. I was one of the authors of the 2016 Lighting  
17 Standards, or a CASE proposal. You guys are of course  
18 the authors of the standard. And one of the things that  
19 would be ideal is that the Section 150.0(k) and Table  
20 150.0-A, that the language remains in the standard where  
21 it's actually describing to the building inspectors,  
22 designers, etcetera, they don't really need to understand  
23 all the details of JA8. That there's actually a  
24 description of the marking that the inspector is looking  
25 for or the purchaser. So that'll just -- it's just a

1 code simplification issue.

2           And then related to the -- there's a change to  
3 the table. I believe it's 150.0(a), I believe, which is  
4 the high efficacy requirements. In there there's a  
5 recommendation to include lighting in cabinets and  
6 closets and these sorts of things as long as they have a  
7 control that automatically turns the light off when the  
8 door is closed, etcetera.

9           And firstly just in terms of the code,  
10 basically what it's doing is exempting this particular  
11 source. So it's essentially saying, "You can call a  
12 incandescent a high-efficacy source. We're allowing you  
13 to call it that." And if you want to exempt that, it  
14 just makes more sense just to exempt those applications  
15 rather than calling it artificially an high-efficacy  
16 source.

17           And then related to that, I understand you get  
18 some small little peanut lamps or something inside of a  
19 cabinet, that's one thing. But when we're looking at an  
20 entire closet that the light source in the closet be  
21 exempted from the high-efficacy requirements, I don't  
22 think that's such a great idea. I don't always close my  
23 closet door. If you look at the 2016 CASE Report, the  
24 cost effectiveness calculations were based on it's like  
25 620 hours a year of use. And that had a benefit cost

1 ratio of 7 to 1. The incremental cost of LEDs have  
2 dropped that much more in the last three years. I'm  
3 expecting that if there's cost effectiveness analysis  
4 sheet, you'd actually find that this probably increases  
5 the life cycle of those closet lights. So my  
6 recommendation is to not include that in the exemption.

7 Thank you very much.

8 MR. BOZORGCHAMI: So I think we have two  
9 comments on -- oh, sorry. Sorry, sorry.

10 MS. HERNANDEZ: Hi. Good morning. My name is  
11 Tanya Hernandez, I'm with Acuity Brands.

12 (Off mic colloquy.)

13 MS. HERNANDEZ: So first I wanted to say thank  
14 you for the opportunity to comment. We also wanted to  
15 make sure that we acknowledge the fact that we're excited  
16 to see the color temperature restriction removed from  
17 that piece of the code and put back in the JA8 section.  
18 I know we'll talk a little bit more about JA8 a little  
19 later this afternoon.

20 There is a comment in one of the slides,  
21 pertaining to taking out redundancy in the 150.0(k). And  
22 I guess I just need to make sure I completely understand  
23 what's going on there. Because the striking of language  
24 that talks about high efficacy, but then points to Table  
25 150.0-A, which is a table about high efficacy sources, is

1 a little bit confusing. So we just want to make sure  
2 that when we're talking about residential lighting, that  
3 we are pointing to the table and pointing to high-  
4 efficacy sources.

5 If you do a search of Chapter 7 and look for  
6 high efficacy, it really only shows up again in the low-  
7 rise multifamily section. And it doesn't point you to  
8 Table 150, so just some consistency there.

9 And then back in Chapter 2, there was a --  
10 Chapter 2, it's 110.99d) that was struck and it talks  
11 about where high efficacy is required and not required.  
12 So because it was struck and there was a piece that talks  
13 about it not being applicable to non-residential  
14 lighting, it is no longer clear as to what high efficacy  
15 applies to, if commercial or non-residential lighting  
16 actually has to meet those requirements.

17 MR. STRAIT: Just to clarify that, part of the  
18 reason that was struck is that we did add an option in  
19 the non-residential lighting for use of JA8 compliant  
20 light sources. So while the language in 150.0(k) is by  
21 its placement only applicable to low-rise residential  
22 construction, there is a place now in the non-residential  
23 where that is available as an option. That's why we no  
24 longer specify here the language that is redundant with  
25 150.0(k), but also therefore contradictory to what we're

1 now allowing in the non-res section. And we'll have a  
2 small discussion of that tomorrow.

3 MS. HERNANDEZ: Okay. And there was one last  
4 thing about elevated temperature? And that I guess will  
5 be covered more in JA8. But there's a still some more  
6 confusion as to what actually has to meet the elevated  
7 temperature for luminaires and (indecipherable)

8 MR. STRAIT: That's correct. We'll talk about  
9 that when we talk about JA8.

10 MS. HERNANDEZ: Thank you again.

11 COMMISSIONER MCALLISTER: Thanks for being  
12 here.

13 MR. BALNEG: Okay. We have Steven Gatz on the  
14 line, you can go ahead and speak. Steven?

15 MR. STRAIT: Sorry about that. Please go ahead  
16 and speak.

17 MR. GATZ: Okay. Can you hear me now?

18 MR. BALNEG: Yes, we can hear you now.

19 MR. GATZ: Okay. I wanted to support the  
20 activity from HVI and John Rose. The question about  
21 kitchen range hood verification, we do support efforts to  
22 work on improving the language in this part of the  
23 regulations. However, we would like to look at this in  
24 terms of an overall alignment of the HVI ratings with the  
25 ASHRAE ratings. One of the items I noticed that Jeff had

1 mentioned in his presentation was that the sound testing  
2 or air flow testing would be at a different pressure than  
3 what is specified under ASHRAE. And that is one of the  
4 issues that we would like to get resolved as an industry  
5 before we start changing codes. And our certification  
6 process -- the certification of the range hoods is quite  
7 a complex testing endeavor. And there are currently no  
8 products that are tested under the strict ASHRAE  
9 requirements. So the test burden to get in compliance  
10 with ASHRAE 62.2 in the certification data would be quite  
11 extensive.

12           We're also working on a range hood capture  
13 efficiency program and that's going to yield some  
14 additional results and potential changes to the air flow  
15 rating systems. So we would just ask that the Commission  
16 look at the fluid nature of the requirements around air  
17 flow in the building spacer and work together with HVI  
18 and ASHRAE to come to a resolution of these requirements  
19 at a timing that is not set by the calendar and the  
20 schedule for the changes for the regulation.

21           COMMISSIONER MCALLISTER: Thanks for your  
22 comments.

23           MR. GATZ: You're welcome.

24           MR. MILLER: Steve, will you submit a comment  
25 in writing please. And just know that we're continuing

1 to dialogue with the stakeholders on this topic.

2 MR. GATZ: Yes, we will be.

3 MR. BALNEG: Okay. We also have a comment from  
4 Mia, Mia Marvelli from the California Building Standards  
5 Commission. She says, "Thank you for this opportunity to  
6 contribute to the CEC's rule-making process. CBSC  
7 requests that the CEC discuss the proposed MERV increases  
8 with CBSC as there are other MERV revisions in the  
9 CalGreen and the California Mechanical Code."

10 "This may be a conflict with the HSC 18930,  
11 which the CBSC considers when approving building  
12 standards prior to being printed and all parts of Title  
13 24 CCR. And additions was not presented at the CBSC  
14 Coordinating Council Meeting in November and we would  
15 like the opportunity to discuss. Thank you for your  
16 consideration."

17 MR. BALNEG: And last but not least, we have  
18 Chris Primous on the line. One second.

19 (Off mic colloquy.)

20 MR. STRAIT: So, for just for one moment.  
21 Because this person is a call-in user, we're going to  
22 have to unmute all of the call-in user lines, because  
23 we're not sure which line belongs to this person. So if  
24 the other folks that are only call-in or haven't  
25 associated their call-in user ID with their computer

1 could try to be quiet. If there's a lot of noise on this  
2 we may have to mute the call-in and ask for the comment  
3 to be submitted either via the text box or some other  
4 method. So I'm going to try to unmute now.

5 MR. PRIMOUS: Okay. Thanks. This is Chris  
6 Primous, can you hear me?

7 MR. STRAIT: Yes, we can hear you. Thank you.

8 MR. PRIMOUS: Okay thanks. Chris Primous from  
9 MaxLite. I've got a quick comment regarding Table  
10 150.0(k) and the high efficacy light sources? I just  
11 wanted to clarify by removing the number 4 there, with G-  
12 24 sockets containing light sources other than LEDs, that  
13 this is essentially driving away any usage of CFL in  
14 residential and new construction. And I just wanted to  
15 make sure that was the intent here.

16 MR. STRAIT: So the intent here is actually  
17 just to be neutral when it comes to that socket type.  
18 We've had a lot of -- outside of this rulemaking, we've  
19 had a lot of questions about which types of sockets fit  
20 in one or another category, what kinds of adapters are  
21 allowable, and a lot of that nature. So it's really more  
22 about not making a distinction based on socket and just  
23 pointing to the technology.

24 We would expect most CFLs and similar lights to  
25 flow through JA8.

1           MR. PRIMOUS: Right. And by doing that, it  
2 makes everything required to be JA8. And the base  
3 requirement to JA8 would essentially eliminate the CFLs  
4 at that point, because with the requirements you couldn't  
5 do that with CFL without other technology advancements,  
6 as you understand probably.

7           MR. STRAIT: Okay. Is this related to --

8           MR. PRIMOUS: No -- go ahead. I'm sorry.

9           MR. STRAIT: I was just going to say if you  
10 want to identify specifically what the challenge is for  
11 CFLs and put that in writing to us, then we can take a  
12 look at that.

13          MR. PRIMOUS: Right. I will do that.

14          Another thing I wanted to make a comment on  
15 here is it does say here that there's clarifying  
16 language, as you just mentioned, so show any light  
17 source. Otherwise I list it on the left side of this  
18 table is it has to meet JA8 requirements. However the  
19 question, I can tell you, comes up quite a bit about  
20 linear LED light source, if then. And so you may want to  
21 think about calling that our specifically about tube  
22 lamps, because that question is not altogether clear from  
23 a lot of people who read this, that this is only  
24 exempting it. Or if you want to say exempting appendix  
25 or (indiscernible) linear fluorescent light source and

1 not the LEDs.

2 MR. STRAIT: Understood. Thank you for that.

3 Yes, and --

4 MR. PRIMOUS: And one of the reasons I say that  
5 is because the number, one of the number one -- probably  
6 the number one selling light source in the country is  
7 probably the LED tube and so that product is going to  
8 come up quite a bit.

9 MR. STRAIT: Thank you.

10 MR. PRIMOUS: One other question, or comment I  
11 wanted to make, and this maybe should be tabled for the  
12 JA8 discussion, but there are some light sources that may  
13 need to be considered to be either exempted or some  
14 requirements made specifically for those types of light  
15 sources, because what has been done and it's being  
16 evidenced by the fact there's none of -- some of these  
17 types of light sources I've refer specifically to an  
18 example of a G9 LED, that cannot meet the requirements  
19 technologically for the JA8 requirements. And I may be  
20 wrong, but there's none of those products that exist on  
21 the market today that can meet.

22 And that's something that should be considered  
23 by the Commission that certain products may need to be  
24 exempted, or take a look at those and figure out how they  
25 can be excluded from meeting every single one of the

1 requirements. And I'll table more of that discussion for  
2 JA8. Thank you.

3 MR. STRAIT: Thank you. I do have one question  
4 request. I assume you might be following up with a  
5 written comment letter. If you can identify the uses  
6 that are typically of some of those more unusual light  
7 sources, like a GU-9 socket, where what types of fixtures  
8 and what settings those tend to be used in construction,  
9 that might help us to craft an exemption. If not based  
10 on the socket type, then based on the application or use.

11 MR. PRIMOUS: Sure. Sure, thank you.

12 MR. SHEWMAKER: All right. Again, my name is  
13 Michael Shewmaker. I'm a Residential CEA with the  
14 Building Standards Office. I'll be touching on  
15 Subchapter 8, which is Section 150.1 in the standards.  
16 And I will cover the prescriptive approach for low-rise  
17 residential new construction. So first I'm just going to  
18 brief overview, but I'll go into further detail when we  
19 get to Tables 150.1-A and 150.1-B.

20 In 150.1(c)1A, we removed the above deck  
21 insulation option. And then 150.19(c)1B we separated the  
22 framed/unframed in mass wall into three subsections.  
23 This was done just for clarity. And 150.1(c)1A, we've  
24 added QII to the prescriptive package. In 150.1(c)3A, we  
25 changed the threshold for glazed doors to follow NFRC and

1 reduced it from 50 percent to 25 percent. In 150.1(c)5,  
2 we added doors to the prescriptive package as well. And  
3 then in 150.1(c)11, we removed the term thermal mass from  
4 the Exception 2 to Section 150.1(c)11. And this was  
5 really to clarify that the exception is dependent on  
6 weight.

7           And then now diving a little bit deeper into  
8 the specific changes, so this is for Table 150.1-A, which  
9 specifically deals with single family. We removed the  
10 option for above deck insulation as well as the options  
11 and values for the no air space. The reason for the  
12 above deck insulation change was the proposed R-value we  
13 felt was too high. And we were a little concerned that  
14 there was currently no product available in order to meet  
15 those R-values. We're not eliminating above deck  
16 insulation altogether. Those looking to utilize above  
17 deck insulation will be funneled towards the performance  
18 approach.

19           And then the removal of the "no air space" was  
20 to clean up the code and help reduce some confusion.  
21 There was, up until this point, two R-values depending on  
22 the high-performance attic option that you choose and  
23 whether or not you had an air space. We found that about  
24 80 percent of construction utilizes tile and therefore  
25 has an air space. And again, just like with the above

1 deck those wishing to do an asphaltic roof or something  
2 with no air space would be funneled towards the  
3 performance approach.

4           Additionally, we increased the below deck  
5 insulation requirement so R19. And that applies to  
6 Climate Zones 4 and 8 through 16. We also reduced the  
7 above grade framed wall U-factor to a 0.048 and that is  
8 applicable in Climate Zones 1 through 5 and 8 through 16.  
9 We added a new row for quality insulation installation.  
10 And that is going to be required in all climate zones for  
11 single family. We reduced the fenestration U-factor  
12 requirement to a 0.30 for all climate zones. We reduced  
13 the SHGC requirement to a 0.23. And that is in Climate  
14 Zones 2, 4, and 6 through 15.

15           We also changed the SHGC requirement for  
16 Climate Zone 16 to no requirement. We have found that  
17 there actually is some benefit to a higher SHGC in that  
18 climate zone and so we wanted to provide that ability for  
19 people to take advantage.

20           We added a new row for doors. And this  
21 requirement will apply to all climate zones. And it's a  
22 U-factor of a 0.20, which is typical of an insulated door  
23 and is currently widely available.

24           And then we changed the footnotes in Table  
25 150.1A, specifically number 4 to remove the term

1 "thermal" from heat capacity. And this was done to just  
2 eliminate confusion over that term of "thermal capacity."

3 Now moving to Table 150.1-B, which is the  
4 multifamily package. Again, we removed the option for  
5 above deck insulation as well as the no air space for the  
6 same reasons. We increased the below deck insulation  
7 requirement to R19 in Climate Zones 4, 8, 9 and 11  
8 through 15. QII was added in and will be required in all  
9 climate zones with the exception of Climate Zone 7. We  
10 reduced the fenestration U-factor requirement to 0.30.  
11 And this will apply to all climate zones. We reduced the  
12 SHGC requirements to a 0.23 in Climate Zones 2, 4 and 6  
13 through 15. And again, changed the SHGC requirement to a  
14 no requirement for Climate Zone 16.

15 And then we also added doors into the  
16 multifamily package as well. Same requirement, all  
17 climate zones and a U-factor of 0.20. And changed the  
18 footnote at the bottom of the table to, again, eliminate  
19 that term "thermal capacity" to alleviate confusion.

20 And then with that, I will pass it off to Mazi  
21 Shirakh, who will then cover the performance approach.

22 MR. SHIRAKH: Okay, Mazi Shirakh. So a couple  
23 of important changes in this round of standards, compared  
24 to the previous rounds. For compliance here in the  
25 current 2106 Standards or the previous cycles we used a

1 TDV budget as a benchmark for a compliance. So we're  
2 proposing to change that to Energy Design Rating, EDR.

3           And this is for newly constructed buildings.  
4 So the energy efficiency, there's going to be an energy  
5 efficiency EDR. There's two components, actually three  
6 components to the EDR approach. The energy efficiency  
7 features of the building are going to be represented by  
8 the efficiency EDR. Then there's going to be a second  
9 EDR for PV in what we call demand flexibility, which  
10 basically captures our demand response battery storage  
11 and thermal storage and all that. So its captured by the  
12 PV plus flexibility EDR. And then we put these two  
13 together and we come up with a final EDR. So the  
14 building must actually comply with the efficiency EDR and  
15 also the with final EDR.

16           And there is no opportunity to actually put in  
17 more PVs and less efficiency, so we've eliminated that  
18 option that exists under the 2016 Standards.

19           There's an exception for community shared solar  
20 and battery storage to offset part of the rooftop PV.  
21 And then energy budget for additions and alterations will  
22 continue to be expressed in TDV terms. So for additions  
23 and alterations we continue, there's no EDR requirement.  
24 So that's --

25           (Off mic colloquy.)

1           MR. STRAIT: I'm sorry. This is Peter Strait,  
2 I'm going to step in for the remainder of these. So, and  
3 again just to read off these slides, for 150.1(b)3B field  
4 verification we're adding references to new field  
5 verification protocols in our residential appendices.  
6 These are listed here. It's for the HSPF rating, heat  
7 pump rated heat capacity and whole house fan.

8           I'm going to ask Danny to come up and explain  
9 these water heating changes.

10           MR. TAM: Hi, Danny Tam. Section 150.1(c)8A is  
11 the prescriptive requirement for a water heating system  
12 serving single dwelling units. We're proposing to delete  
13 Option ii for gas storage under 55 gallons. With QII  
14 being a new prescriptive standard for 2019 this option  
15 kind of becomes obsolete. Just a note. You can continue  
16 to use these under the performance method. And the other  
17 option for gas storage above 55, currently we require a  
18 compact hot water distribution or a HERS verified pipe  
19 insulation. We're proposing to add drain water heat  
20 recovery as one of these additional options for gas  
21 storage water heater above 55 gallons.

22           So we're proposing to add two new prescriptive  
23 options for heat pump water heaters. The first one  
24 requires additional PV. That's in addition to the PV  
25 requirement in Section (c)14. For Climate Zone 2 to 15

1 we require an additional 0.3 kilowatt. And for Climate  
2 Zones 1 and 16, additional 1.1 kilowatts.

3 To address the situation when someone cannot  
4 install PV, we're proposing to add some language in 15  
5 day for the installation of stream water heat recovery  
6 and compact distribution together. With that, you don't  
7 have to put in additional PV.

8 And for Option iv, require the installation of  
9 a heat pump water heater that meets the NEEA advanced  
10 heater specification, Tier 3 or higher. So if you  
11 install one of these NEEA Tier 3 heat pump water heater  
12 in Climate Zones 2 to 15, then you meet the prescriptive  
13 requirement. For Climate Zone 1 and 16, you need to add  
14 additional, just a little bit, 0.3 kilowatt PV on top of  
15 the (c)14 requirement.

16 So moving on to the water heating requirements  
17 for multi-dwelling units, that system serving multiple  
18 dwelling units or central systems, we're proposing to add  
19 an option for reduced solar fraction requirement.  
20 Currently, the essential system requires a solar fraction  
21 of 0.2 in Climate Zones 1 through 9 and 0.35 for Climate  
22 Zones 10 through 16. With one of these systems  
23 installed, you can reduce that solar fraction to 0.15,  
24 for Climate Zone 1 through 9 and 0.3 for climate 10  
25 through 16.

1           And this system has to have an effectiveness of  
2 at least 42 percent and recover heat from at least half  
3 of the showers above the first floor.

4           Okay, 150.1(c)14 is a new section that  
5 describes the PV requirement. It's applicable to low-  
6 rise residential buildings, both single-family and  
7 multifamily. It's based on a formula that's supposed to  
8 equal to the anticipated annual kilowatt hours of the  
9 dwelling. And the PV system must meet the requirement in  
10 JA11, which is a new reference appendix that describes  
11 the qualification requirement for all PV systems.

12           We added a number of exceptions to this  
13 requirement. So there's an exception for if you have a  
14 limited solar access. This would reduce PV requirements  
15 in Climate Zone 15, also reduce PV requirement for two  
16 and three-stories, single and multifamily.

17           And there's some accommodation for plans as  
18 approved prior to January 1st, 2020. And finally, you  
19 can reduce your PV size if you have a battery storage  
20 system installed. And that battery storage system has to  
21 meet JA12, which is a new JA for 2019. We'll talk about  
22 that in the afternoon.

23           And with that, that's 150.1.

24           (Off mic colloquy.)

25           MR. HAMMON: Good morning. Rob Hammon, from

1 BIR Energy. I'm going to want to speak a little bit more  
2 in the afternoon when you get to the trade-off for the  
3 storage grid. But I did want to mention at this point  
4 that there is the -- while you can't trade PV for  
5 storage, sorry, PV for efficiency as you could in 2016,  
6 you can now trade storage for efficiency. And I think  
7 that needs deep consideration and hopefully removal from  
8 the standards.

9           It doesn't make any sense to me that we would  
10 be trading efficiency for a measure that is not an energy  
11 efficiency measure at all. And I just think that should  
12 be removed.

13           MS. PETRILLO-GROH: Laura Petrillo-Groh, AHRI.  
14 I have a few concerns with 150.1(e)3B I believe, and  
15 requiring the verification of the heat capacity at 17  
16 degrees Fahrenheit for the field verification. There's  
17 no -- this is an optional rating point for this equipment  
18 for heat pumps. And this is, I think beyond what can be  
19 required for installation of these products.

20           There's also concern about tying the  
21 installation of photo voltaic cells with heat pump water  
22 heaters. I think this goes beyond what can be achieved  
23 in a building code. This violates federal preemption for  
24 these products by giving an additional efficiency  
25 requirement on top of what is already the federal

1 requirement.

2           So I would ask you all to go back and look what  
3 is the authority for these proposals. Thank you.

4           MR. KING: Hello. My name is Russ King. I'm  
5 the Senior Director of Technical Services at CalCERTS, a  
6 California home energy rating system provider. CalCERTS  
7 appreciates the opportunity to participate. And we've  
8 been an important and trusted contributor to the  
9 improvement of the energy code.

10           Me personally, on a personal note, this year  
11 marks my 30th year of working with the energy code. And  
12 one of the things I've done many time, over those 30  
13 years, is train building departments. Excuse my voice,  
14 I'm at the tail end of a cold.

15           Because it has long been realized that local  
16 building departments do not have the time, nor the  
17 resources to fully verify every energy feature,  
18 California wisely instituted third-party special  
19 inspections for HERS raters-, to ensure compliance with  
20 the energy code. Given that a HERS rater is already  
21 required on every newly constructed home the cost to add  
22 more inspections is relatively small, compared to the  
23 benefit to ensuring the cost benefits, the cost savings  
24 sought by the energy feature being verified.

25           We were very surprised to find out that even

1 though the case study for roof-top solar PV systems very  
2 specifically called for third party PV/HERS verification  
3 of PV systems. The 45-day code language does not,  
4 specifically, Section 150.1(c)14.

5           We understand that PV systems are checked by  
6 the utilities and will have monitoring systems on them.  
7 However, there are serious limitations to these checks.  
8 Furthermore, joint appendix JA11, which will be discussed  
9 later, is the new verification protocols for PV systems.  
10 As written, it is five pages of step-by-step protocols  
11 for verification of PV systems that has no HERS  
12 verification and adds even more responsibility onto the  
13 backs of building code enforcement personnel.

14           Not only is this going in the wrong direction,  
15 by making a portion more burdensome on building  
16 departments, it raises serious procedural questions.  
17 This substantive change to the CASE study recommendation  
18 was made without notification, consultation, nor was it  
19 mentioned in the initial Statement of Reasons.

20           Hundreds of HERS raters are already trained and  
21 certified to perform PV verifications and have been doing  
22 so for years with the NSHP program. It is our hope that  
23 the Commission staff will involve the HERS providers and  
24 rates and reconsider the exclusion of HERS verification  
25 of this extremely important energy measure. Thank you.

1           MR. SHIRAKH: One question, can HERS raters get  
2 on the roof?

3           MR. KING: They've been doing it for the NSHP  
4 program.

5           MR. SHIRAKH: And they can do it for this too?

6           MR. KING: Yes. We prefer that they don't if  
7 there's a way that we can come up with a verification  
8 where they don't have to. But it's either the HERS Rater  
9 of the building inspector from the building department.  
10 Someone's got to do the verification. So what we're  
11 proposing is that we're already trained and certified to  
12 do this and rather than adding additional burden on the  
13 building departments, that we just let the HERS raters do  
14 it.

15           MR. SHIRAKH: Okay. Thank you

16           MR. NESBITT: George Nesbitt, HERS rater.  
17 Section 150.1(c)8, the section on water heaters. So you  
18 can do tankless gas up to 200,000 BTUs. You can do a  
19 heat pump water heater with certain restrictions, as well  
20 as added PV. I'm having a hard time understanding the  
21 gas tank option.

22           Traditionally, it's always been a tank with an  
23 energy factor, was what was allowed. But this  
24 requirement, I'm having a hard time understanding what  
25 water heater would have an input rating of less than

1 105,000 BTUs an hour with a tank of more than 55 gallons.  
2 That is a commercial water heater, because it's more than  
3 75,000 BTUs, but that's also a big tank. And they tend  
4 to be bigger tanks and bigger inputs, or smaller tanks  
5 and bigger inputs. So I guess I'm -- I don't know if you  
6 can clarify or --

7 MR. TAM: Yes, the newer class of water heater  
8 is called residential duty commercial water heater.  
9 Their limit is 105. Yeah, it's a larger input, but it's  
10 meant for installing in residential dwellings. And  
11 these options have been there since the 2016 Update. So  
12 we're removing one and we're adding an option.

13 MR. NESBITT: Okay.

14 MR. TAM: And the reason there's a break at 55  
15 gallons is because the federal standard is different for  
16 below 55 and above.

17 MR. NESBITT: Yeah. I mean I'm fairly familiar  
18 with 50 gallon, 76,000 or maybe 100,000 BTU water  
19 heaters. But not this product.

20 On the packages, a long time ago you had  
21 packages for basically gas heating and then a package for  
22 an electric option that required higher insulation levels  
23 and what not. Now, you're doing essentially one package,  
24 or you're doing single family versus multifamily. Heat  
25 pump is allowed both for space heating and water heating.

1 A heat pump for space heating comes with apparently no  
2 additional requirements, but the heat pump water heater  
3 does. And I'm just wondering if we are treating the  
4 technology between the two things differently by adding  
5 requirements on water heater but not on space heating.  
6 And whether we should be doing that.

7           And of course what we're doing for the water  
8 heater is you're saying add more PV. So you're not  
9 making a more efficient building, you're just adding more  
10 production. So that is actually a credit for efficiency,  
11 a PV tradeoff for efficiency. So I mean my preference  
12 would have been a package for heat pump, allowing heat  
13 pump technology with greater efficiency requirements.

14           On the PV sizing, sizing at 100 percent of your  
15 predicted site electricity, I think is going to lead to  
16 over-sized systems. I have seen numerous cases, where  
17 the predicted electric use and the actual were  
18 drastically different, including half as much.

19           Aurora Solar did a big study recently that they  
20 published with the Net Metering 2.0. And they say the  
21 optimal cost-effective system is about 82 percent of your  
22 electrical use, which is slightly higher than what it was  
23 under Net Metering 1.0.

24           So I think the problem, despite talking about  
25 grid harmony and all this, we're now going to require a

1 massive increase in the number of PV systems. And we are  
2 going to drastically increase the problem of the duck  
3 curve. And the larger the systems we require the faster  
4 we're going to drive towards that future, which will  
5 change net metering rules. We have seen places where you  
6 can no longer export to the grid. So I think just in  
7 general that PV, without storage is fast becoming  
8 obsolete.

9 I do also want to reiterate Russ's comment. PV  
10 HERS ratings have been around for a decade. Yes, you get  
11 on the roof, because you have to. I've been on plenty of  
12 roofs. Is the building inspector going to get on the  
13 roof?

14 MR. SHIRAKH: Any liability issues, are you  
15 insured for it. Do you have a -- I mean I can't wave my  
16 hand.

17 MR. BOZORGCHAMI: Yeah, George. Do you have a  
18 fall protection requirement when or Russ, I think one of  
19 you can answer that question, is there a fall protection  
20 requirement that HERS raters have gone through training  
21 and have liability insurance for it and so forth?

22 MR. NESBITT: There are no requirements under  
23 Title 20 for that kind of thing.

24 MR. KING: I don't believe there is.

25 MR. NESBITT: It depends on the roof.

1 Multifamily flat roofs, no problem. Single family, it's  
2 going to depend on conditions. But I can tell you the  
3 building inspector is far less likely willing to get on a  
4 roof.

5           So then the last thing is the whole energy  
6 design rating. One problem, historically with the code,  
7 has always been people just look at the compliance  
8 margin. Did I get to 0.001 better than code minimum?  
9 Unfortunately, energy design rating just brings it down  
10 to a number.

11           But the big issues is Public Resource Code 25-  
12 942 called for the Energy Commission to have a single  
13 state-wide rating system for new homes, existing homes.  
14 We have it under Title 20. We've had it, well almost a  
15 decade now. The energy design rating does not comply  
16 with Title 20. It doesn't require a HERS rater. RESNET  
17 did make a distinction between a design rating and a  
18 rating, between a rating at plans versus a verified  
19 rating. Nothing in Title 20 says we can't do the same.  
20 So we've allowed greenpoint rating. To have a HERS  
21 rating system, we've allowed CAP to have the cap score,  
22 which is the HERS rating. We had the EDR in 2013 and  
23 2016, now 2019. All of them violate Title 20. Thank  
24 you.

25           MR. KING: Russ King again, from CalcERTS. I

1 wanted to address your question, Payam. We're not asking  
2 that the protocols be written such that HERS raters have  
3 to get up on the roof to do the verification. What we're  
4 asking is that currently, in JA11, you're asking building  
5 apartments to something in terms of verification in terms  
6 of verification.

7           In fact it says, "The local enforcement agency  
8 shall verify that all certificates of installation are  
9 valid and that the PV system meets all provisions of  
10 JA11." So what we're saying is rather than having the  
11 building departments do that just have the raters do  
12 that.

13           MR. HODGSON: Mike Hodgson, ConSol representing  
14 CBIA.

15           In Section 14 there is basically the sizing  
16 requirements for photo voltaic systems, for single family  
17 and multifamily dwellings. And I just wanted to get  
18 staff, or encourage staff, to get the utilities to make  
19 comments on the sizing requirements. That they are  
20 acceptable to the utilities and that we can hook up our  
21 single family and multifamily dwellings to those numbers.  
22 I think that would be very beneficial for both parties  
23 that we get some type of support and acknowledgement from  
24 the electric utilities that PV sizing, as proposed by the  
25 CEC is acceptable to them.

1           A separate comment is in the multifamily Table  
2 151-B, requirements in Climate Zones 8 through 14 shows a  
3 whole house fan is required. And I wanted to ask 1) is  
4 that true and I'm sure it is or it may be and 2) my  
5 understanding of the current version of the research 2019  
6 CBECC software does not allow whole house fans to be  
7 modeled. So for the building industry to be able to make  
8 some type of judgment on whether or not this is an  
9 acceptable criteria we would have to understand the  
10 compliance impact of that requirement.

11           MR. SHIRAKH: And so Mike, on the sizing, you  
12 know the equation that you see or was up there, that's  
13 basically designed to come up with a PV system that's  
14 large enough to displace the annual kilowatt hour of a  
15 mixed fuel building, so that is NEM compliant. And if  
16 we're using the same equation for both all electric and  
17 mixed fuel homes. So that is entirely compatible with  
18 NEM rules. I don't know why utilities would have a --  
19 there's no over sizing involved here.

20           MR. HODGSON: Okay. I think that's great,  
21 Mazi. I just think that would be very useful to have an  
22 acknowledgement from the electric utility, so that  
23 they're aware that photovoltaics is a requirement in the  
24 2019 Standards. And that the sizes as proposed by staff  
25 are realistic to them and we can acknowledge that we will

1 be able to connect buildings to those sizes.

2 MR. SHIRAKH: Okay. All right, thank you.

3 MR. HODGSON: Thank you very much.

4 MR. CAIN: Joe Cain, with the Solar Energy  
5 Industries Association. So background 2005-2006, we came  
6 up with a loading order. And it's been quite a while  
7 since that initiated. And in the meantime it seems as  
8 though efficiency people have gone over here and done  
9 some great, fantastic things in building science and  
10 appliances and lighting. And the solar folk have gone  
11 over in another direction and focused on the economies of  
12 scale, with the help of the Department of Energy Sunshot  
13 Program, with the help of the California Legislature and  
14 AB 2188 with the help of the Governor's Office of  
15 Planning and Research, with the California Solar  
16 Permitting Guidebook and in these gains in soft cost.

17 And so here we are 12 years or so later and we  
18 now, because of the zero energy goals we're bringing the  
19 efficiency people and the solar people back together.  
20 And the solar industry, I can say we're very happy that  
21 solar is becoming a requirement for residential in the  
22 2019 Standards. We're happy that there are some things  
23 encouraging the use of battery storage. But I think that  
24 one of the continuing frustrations is that again we're  
25 not really getting the efficiency people and the solar

1 people back together. In that some would choose -- still  
2 we hear each time we have a workshop we're hearing -- to  
3 metaphorically build a wall between efficiency and  
4 renewables. And so we hear over and over that there  
5 should be no compliance credit for renewables that have  
6 any impact whatsoever on efficiency.

7           We spent a lot of time talking about production  
8 housing. CBIA is primarily focused on production housing.  
9 We have the -- I hope that's a correct statement -- Bob  
10 is shaking his head in an up and down fashion -- we have  
11 also though, custom homes.

12           And I'll tell you just one little parable.  
13 There's a consultant that I know since hometown stuff,  
14 who works on very large, very fancy custom homes along  
15 the California coastline. And that's his clientele. He  
16 designs ultra-efficient homes with hydronic heating. And  
17 because his clients have earned their living and they  
18 want their fancy home, lots of glass. And they build  
19 these homes on the coast. So one of his problems that  
20 he's asserted is that you can design a home, give the  
21 architect the freedom to design the home with whatever  
22 architectural features you want. But because you cannot  
23 use renewables to offset the additional energy use from  
24 these architectural features he's finding cases where you  
25 just simply cannot comply a home.

1           And so here's the irony. He's got clients who  
2 would be happy to install enough renewable energy and  
3 storage, so that they actually do build a zero net energy  
4 home. However, according to the structure of our  
5 standards you can -- and this is I think many would  
6 consider irony, that you can design a zero net energy  
7 home and have it be none-code compliant.

8           And so when you think about that, what that has  
9 actually driven some of his clients to do is what we call  
10 "grid defection", where they simply cannot comply with  
11 the California Energy Standards, because of those  
12 constraints. So what they chose to do instead is design  
13 their zero net energy home and go entirely off grid,  
14 because that's really the only option for them to get the  
15 architectural features and design that they want.

16           We have heard in past workshops, now that PV is  
17 cost effective in all California climate zones we've  
18 heard in past workshops that when you combine PV with  
19 storage, battery storage, that at the meter it looks a  
20 lot like an efficiency measure. And so we still feel  
21 strongly that PV, sized larger than the minimum  
22 prescriptive requirement and paired with storage, should  
23 get some compliance credit in the overall compliance  
24 model.

25           So we feel that energy storage should be

1 compliance credit in the compliance model. When you look  
2 at those things together, let's take down the wall and  
3 let's really look at how these things all work together.  
4 We would really like to see efficiency renewables have  
5 equal weight and equal standing in the standards.

6           And I understand we're kind of getting -- we're  
7 moving towards zero and we'd encourage the Commission to  
8 continue that path, but we'd like to see a better  
9 balance.

10           Regarding some of the comments on HERS rating  
11 and such, yes the solar industry is very mindful that  
12 rooftop solar requires fall protection. We've had a lot  
13 of attention from OSHA and CalOSHA. There have been some  
14 incidents. There are some solar companies that have a  
15 zero tolerance policy for any employee caught without  
16 fall protection because of that. And then when you also  
17 look back at some of the things about reducing soft costs  
18 in terms of reducing vehicle trips, reducing the number  
19 of inspections by a city or county. In this case, when  
20 we get to JA11, we'll talk about some of the rooftop  
21 requirements for measuring shade.

22           So each of those individual stops, each of  
23 those stopping points requires some person. And that  
24 person gets there in some vehicle. And so every time you  
25 have another person, another vehicle, another truck roll,

1 another stopping point in the process, you're working  
2 against or kind of reversing the goal that we have had  
3 about reducing soft costs, reducing vehicle trips. I  
4 mean, even waiting for a building inspector usually the  
5 solar company will have someone whose job it is to sit  
6 there at the jobsite and wait for an inspector to show  
7 up. And that can be pretty significant. And so fewer  
8 inspections reduces soft costs.

9           The HERS rating that on the roof shade, those  
10 are the things that we think add additional steps,  
11 additional stopping points. And we'd like to see all of  
12 those reduced in order to continue these goals of the  
13 Governor's Office of Planning and Research to reduce soft  
14 costs.

15           We will have some written comments of course.  
16 I think those are some of the key points. And I'll stop  
17 there. Thank you.

18           MR. HILLBRAND: Good afternoon, Alex Hillbrand  
19 from NRDC, Natural Resources Defense Council. Thanks to  
20 the Commissioner and the Commission for working so hard  
21 on this code revision.

22           NRDC supports CEC, as we've said, in the 2019  
23 proposed building standards. We find it to be a cost  
24 effective path towards ZNE and the deep decarbonization  
25 of California's building sector. We expect them to

1 provide major energy benefits and \$1.6 billion in net  
2 benefit to California, while helping California reach its  
3 climate and energy goals.

4           On the topic of the improvements being made to  
5 the standard and mandatory building envelope energy  
6 efficiency, above grade walls, attics, windows, doors,  
7 QII, we find this to be great progress.

8           We are willing to accept the improvement in  
9 walls to 0.048, although it is really less of an  
10 improvement than was deliberated in the pre-rulemaking.  
11 We definitely support mandatory PV requirements in  
12 residential, (indecipherable) from the efficiency EDR of  
13 the home. It's been a key aspect of this proposed code  
14 change.

15           PV is an essential renewable energy source that  
16 will help California reach its long-term goals. It will  
17 also save homeowners money. While the upfront cost  
18 associated with PV accounts for a sizable fraction of the  
19 code compliance cost averaging a bit over \$10,000, over  
20 the life cycle of those panels we expect most homes to  
21 save quite a bit of money under reasonable NEM  
22 assumptions and future PV costs.

23           In addition, innovative low and no-cost  
24 financing options for PV are becoming widely available in  
25 California to help offset the purchase price. More so,

1 in California it will also increase solar industry jobs  
2 related to construction, installation and maintenance of  
3 solar systems. The Commission expects 200 megawatts of  
4 small scale solar result from this code in 2020. Just a  
5 modest boost to installations that are already exceeded 1  
6 gigawatt this past year.

7           We understand that the Commission is developing  
8 an independent electric baseline for the performance path  
9 of the code. NRDC strongly supports this effort. A  
10 fuel-neutral code that enables the use of electric space  
11 and water heating, which can cut greenhouse gas intensity  
12 in half compared to gas, will set the stage for deep  
13 decarbonization.

14           We appreciate the Commission's initiative on  
15 this and look forward to better understanding if that's  
16 all the way in the 45-day language or if 15-day language  
17 will need to be added to achieve that goal. We're also  
18 curious when the software will include some of those  
19 changes for our consideration.

20           We also understand that CEC plans to provide  
21 some compliance credit for battery storage systems. We  
22 support encouragement of the battery market. We believe  
23 the comparable credit should be provided to electric  
24 water heating and flexible electric water heating and  
25 space-conditioning flexibility. Thermal storage, hot and

1 cold, not just electrons can provide grid harmonization  
2 and directly reduce the energy intensity, or rather the  
3 emissions intensity are thermal demands.

4 Thanks very much.

5 MR. SHIRAKH: Alex, just a couple of points, we  
6 will be providing credit for thermal storage.

7 MR. HILLBRAND: Great.

8 MR. SHIRAKH: And we are planning to release  
9 the software new version in a couple of three weeks and  
10 we'll have the independent (indecipherable) for heat pump  
11 water heaters.

12 MR. HILLBRAND: Thank you, Mazi.

13 COMMISSIONER MCALLISTER: Thanks for being  
14 here. Just one comment came out of this discussion, a  
15 bit more general. It would be helpful if you can help --  
16 I mean in most cases, I think staff has a good sense of  
17 this, but perhaps in this case there's a conversation  
18 that could happen. What needs to be in the code itself  
19 and what can sort of be done in the compliance process,  
20 putting together all the compliance materials later on.

21 Some of the details can probably be put off a  
22 little bit, but the basics really need to be there, so  
23 that we're all transparent and clear. So help us  
24 understand exactly where that could be in this case.

25 MR. HILLBRAND: Great. Thanks for the offer.

1 We're definitely happy to do that.

2 MR. SHEWMAKER: Actually, just a quick comment.  
3 There actually was a recent release of CBECC-Res 2019.  
4 And that came out about a week ago, so there is a new  
5 version, 2019.0.8.

6 MR. SHIRAKH: So that new version does not have  
7 the water heating, heat pump water heating. That's what  
8 I was referring to. In a couple of three weeks there'll  
9 be an update that would include the heat pump water  
10 heater.

11 MR. GEHLE: Helmut Gehle, I work for Sunrun, a  
12 national provider of solar and storage solutions. First  
13 of all, thank you for the opportunity to comment. I  
14 think this is a great effort, so I'm very, very excited  
15 about it.

16 I would like to echo some of the comments that  
17 Joe with SEIA has made. And I have one quick question  
18 here and that is around the reduced PV sizing  
19 requirements for two-story homes. If you guys could  
20 share a little bit the rationale behind it and how that  
21 its being enforced, would be interesting.

22 MR. SHIRAKH: As the building increases in  
23 height, two or three stories, there's more limited space  
24 available or maybe more limited space that may  
25 accommodate the required PV systems. So we're trying to

1 be cautious and not have a code that would be impossible  
2 to comply with.

3           So basically, we looked at the plans that were  
4 submitted to us by builders and some architects. And so  
5 we decided to allow some slight adjustment to the PV size  
6 for the two-story and further for the three-story  
7 building just to make sure. And you have to also  
8 consider the fact that we've expanded the allowed  
9 orientation. Used to be 110 to 270. We're going to from  
10 90 to 300. That, coupled with these added flexibility  
11 for the two and three-story homes gives us some  
12 confidence to think that we are having a code that people  
13 can comply with.

14           MR. GEHLE: Okay. Well thanks, Mazi for the  
15 explanation.

16           So in general I may be able to speak to this  
17 also when we talk about the appendixes, but we're very  
18 concerned about small system sizes and associated costs,  
19 especially if you add storage. I think we'll hit  
20 situations where the systems are so small and storage  
21 costs are relatively high, that it's just not a very  
22 strong value proposition for the home buyer. So we are  
23 very concerned about that. And if I listen to reduced  
24 system sizes, I would like to make that comment that we  
25 should take that into consideration.

1           And as it pertains to shading, I think the  
2 shading restrictions are also very, very strong. And  
3 today there are technologies, emerging technologies.  
4 There's power electronic technologies that allow and deal  
5 with partial shading. So I would also like to comment  
6 that we should look at the shading requirements and see  
7 whether we can soften them up.

8           MR. SHIRAKH: So one quick note is our  
9 requirements are the minimum requirements. People can  
10 exceed that if they wish, if they can do their cost  
11 effectiveness and determine that the little bit larger  
12 system brings better value. As long as they don't  
13 violate the NEM rules they can.

14           MR. GEHLE: Yeah, we will actually have to do  
15 that, because I think the mandated system size is from a  
16 value proposition to the home buyer are not very strong.  
17 So but again maybe there are ways around it, especially  
18 if you look at the shading limitations they're very, very  
19 restrictive. Thank you.

20           MR. SHIRAKH: Thank you.

21           MR. CAIN: Joe Cain, with the Solar Energy  
22 Industries Association. To speak to the exceptions or  
23 the reduced system size for the two-story or three-story  
24 I just would want to make sure that, first of all I don't  
25 know that it's necessary. But second, I'd like to know a

1 little bit more about it. But I can just tell you that  
2 ten years ago, it was common to see solar panels come  
3 through that were 175 watts per panel. And then we watch  
4 them go through 185 and 195, 235, 275. And there's some  
5 panels out there now that they may be a premium panel,  
6 but there are some out there that are 350 watts in the  
7 same space that used to be 175 watts. So the actual  
8 output of individual panels has essentially doubled in 10  
9 years.

10           And so I think this space limitation is a two-  
11 story or three-story, I think it's something to consider,  
12 but I don't think that I agree that the requirement  
13 should be relaxed for those cases. And anyway I'd like  
14 to work on that some more, but I think that it may be  
15 overstated. And I want to take a real close look at  
16 those exceptions.

17           MR. SHIRAKH: Again, we worked with some  
18 architects. They presented to us actual plans that they  
19 were working on and it didn't seem to be a problem in  
20 those cases. But you know, we'd be happy to look at your  
21 data and take another looking.

22           MR. CAIN: Okay. Looking forward to more  
23 dialogue. Thank you.

24           MR. BALNEG: So we have two comments on the  
25 phone. Okay, Clair. You can go ahead.

1 MS. BROOME: Can you hear me now?

2 MR. BALNEG: Yes. We can hear you now.

3 MS. BROOME: Wonderful. This is Claire Broome.  
4 I'm a Professor of Public Health at Emory University and  
5 have been active at the PUC in considering integration of  
6 distributed energy resources. Can you go the slide which  
7 shows the electric heat pump water heater requiring  
8 additional PV?

9 I would suggest that it's really important to  
10 consider the many functions a heat pump water can  
11 provide. You're looking at it just as requiring further  
12 electric load. But in fact, it can be a thermal storage  
13 device as you have discussed earlier, in the importance  
14 of grid-connected communications protocols. I would urge  
15 the Commission rather than requiring additional PV, to  
16 incorporate the entire value provided by an electric heat  
17 pump water heater.

18 I heard you're considering a credit for thermal  
19 storage, but why not have an integrated approach to  
20 encouraging efficient heat pump water heaters. This is  
21 particular critical, because the importance of getting  
22 off gas water heating and transitioning to all electric,  
23 we should not be penalizing efficient electric heat pump  
24 water heaters. Thanks.

25 MR. TAM: Thank you for your comments. I just

1 want to add these are prescriptive requirements. Under  
2 performance, we're not envisioning that you can trade off  
3 PV with efficiency. Again, we are looking at thermal  
4 storage for heat pump water heater. We are working with  
5 NRDC to develop some sort of DR credit that can be taken  
6 in the performance method. But yeah, we are looking into  
7 that.

8 MR. STRAIT: Certainly, if it makes sense to do  
9 so following that research, then a prescriptive option or  
10 a compliance option for a water heater with those  
11 features would make sense. We just have to do some more  
12 research on that.

13 MR. BALNEG: Okay. We have Rachel on the line.  
14 Rachel, you may speak.

15 MS. GOLDEN: Thank you. Hi. This is Rachel  
16 Golden, with the Sierra Club. I'm wondering if you can  
17 mute there at the CEC, because there's a big echo.

18 MR. STRAIT: We can hear you just fine. We  
19 aren't hearing an echo, I apologize.

20 MR. GOLDEN: Okay. I guess I can hear the echo  
21 only, thank you then.

22 So I just want to thank the CEC staff for all  
23 your work on the 2019 Code. And I appreciate the  
24 opportunity to comment on behalf of over 400,000 members  
25 in California and also our chapters across the state.

1           We support and appreciate the CEC's work to  
2 integrate zero net energy into the code and requiring  
3 solar in homes. We believe it is going to lower the life  
4 cycle cost of home ownership and also support  
5 California's energy, air quality and climate goals, while  
6 at the same time supporting job growth in the state.

7           And we strongly support the future addition of  
8 an electric water heater baseline. This is critical to  
9 enable the construction of energy efficient, climate  
10 friendly, electric buildings.

11           Recent studies by Lawrence Berkley Nation Lab  
12 demonstrates that in order to achieve California's  
13 climate goals the state agencies like the Energy  
14 Commission, need to quickly facilitate a shift to high  
15 efficiency electric appliances, like heat pump water  
16 heaters and heat pump space heaters. So historically the  
17 use of TDV and using mixed fuel baseline has meant that  
18 the code favors mixed fuel buildings even though the  
19 Commissions and E3's own analysis has shown that for  
20 almost every climate zone, that electric buildings have  
21 lower greenhouse gas emissions and less energy  
22 consumption, than those that use natural gas.

23           So we strongly support the addition of an water  
24 heater baseline. And creating this electric water heater  
25 baseline is key in the short term to overcoming the

1 shortcomings of TDV and unlocking the door to achieving  
2 natural ZNE, but ultimately deep decarbonization and zero  
3 emission buildings.

4           We also want to make sure that the electric  
5 baseline will be available, whether or not gas is  
6 available. We also support the integration of a heat  
7 pump water heater flexibility credit. And we look  
8 forward to seeing what that looks like.

9           And at a high level just to add, we feel  
10 strongly that Title 24 needs to evolve to be aligned with  
11 the state's climate goals. A lot of progress has been  
12 made in this code cycle. And it's an important step  
13 forward, especially in achieving ZNE. In the next code  
14 cycle, we're eager to see the code evolve more to be a  
15 greenhouse gas-based code and to stop being limited by  
16 the TDV metrics.

17           Thanks very much.

18           MR. SHIRAKH: Just one quick note, Rachel. The  
19 electric heat pump water heater will be available whether  
20 gas is available or not.

21           MS. GOLDEN: Terrific. Thank you, Mazi.

22           MR. BALNEG: And we have one more comment online by  
23 Kelly. Kelly, you may speak.

24           MR. KNUDSEN: Hi. Thank you very much. This  
25 is Kelly Knutsen, from CalSEIA. I just wanted to say

1 thank you very much for putting together this workshop  
2 and for all your hard work over these past years on this.  
3 And I'll keep my comments brief. I just wanted to  
4 associate myself with the comments from Joe Cain of SEIA  
5 as well as Helmut from Sunrun. And I think they've  
6 raised some good points.

7 I just wanted to mention that we are glad to  
8 see the solar PV requirements in this code and a role for  
9 storage. We'll have some more comments for later on in  
10 the afternoon, from my colleague, Laura. We'll share on  
11 those specific comments when we get into the details of  
12 the appendix.

13 And also, I'm glad to hear this discussion  
14 about the role of thermal both water heating and space  
15 heating within this discussion and glad to see that solar  
16 thermal, like solar water heating and cooling, has  
17 continued to be part of the codes. And so when  
18 considering some of these other additional things, please  
19 continue to include solar thermal in the discussions when  
20 we're thinking about the thermal sizes of the code. And,  
21 as Joe mentioned, we are planning on jointly commenting  
22 with the -- to get some more detailed feedback on all the  
23 discussion from today as well as proposed 45-day  
24 language.

25 So I just again wanted to say thank you and

1 we'll be talking more soon.

2 MR. BOZORGCHAMI: Thank you.

3 So I think this wraps it up for the morning  
4 session. We're about 15 minutes behind, so if it's okay  
5 with you Commissioner, can we go for an hour lunch,  
6 please?

7 COMMISSIONER MCALLISTER: (No audible  
8 response.)

9 MR. BOZORGCHAMI: All right. So we'll be back  
10 here at 1:45 for the afternoon session. Thank you so  
11 much.

12 (Off the record at 12:44 p.m.)

13 (On the record at 1:47 p.m.)

14 MR. BOZORGCHAMI: All right, good afternoon  
15 everyone. So we're going to start the afternoon set of  
16 our hearings. I just want to make sure that everyone's  
17 aware that we would like all your comments sooner the  
18 better. We want to be very productive and be able to get  
19 a very good and accurate standards out for the 15-day  
20 language.

21 So with that I'm trying to -- we're a little  
22 bit behind schedule, but I'm trying to catch up as fast  
23 as we can. We're about 30 minutes, about 20 minutes  
24 behind. So Mikey, excuse me, Michael Shewmaker will be  
25 presenting the Residential Additions and Alterations

1 section.

2 MR. SHEWMAKER: All right, well I hope everyone  
3 got a chance to go outside and enjoy the nice weather.  
4 We'll try to make this quick and get you guys out of here  
5 as soon as we can.

6 So I'm going to cover Subchapter 9, which is  
7 Section 150.2 in the Standards. And we'll cover the  
8 prescriptive approach for low-rise residential additions  
9 and alterations.

10 First, I'm going to start off with additions  
11 greater than 700 square feet. We added language to  
12 150.2(a)1A to eliminate the requirement for continuous  
13 insulation for additions in which the existing siding is  
14 not being removed or replaced.

15 For additions less than or equal to 700 square  
16 feet we made a number of changes. In 150.2(a)1Bi and ii  
17 we clarified the ceiling insulation and radiant barrier  
18 requirements for Climate Zones 1 and 11 through 16.  
19 They'll be required to install R38 insulation, and 2  
20 through 10 R30. And then for the radiant barrier that'd  
21 be required in Climate Zones 2 through 15.

22 In 150.2(a)1Biii we updated the insulation  
23 requirements to match the prescriptive requirement for  
24 cavity insulation in new construction. So that's a R15  
25 in a 2 X 4 cavity or R21 in a 2 X 6.

1           We added language to clarify that additions  
2 less than or equal to 700 square feet are not subject to  
3 the quality insulation installation requirements. We  
4 added language to eliminate the requirement for  
5 continuous insulation for additions in which the existing  
6 siding is not being removed or replaced.

7           And then we added an exception to clarify that  
8 enclosed rafter roofs shall meet the mandatory  
9 requirements of 150.0, which is R22.

10           In 150.2(b)1B we made some minor changes to  
11 provide clarity and improve readability. Those changes  
12 are non-substantive.

13           And then in 150.2(b)1D, duct leakage compliance  
14 targets for entirely new or complete replacement duct  
15 systems were moved to Section 150.2(b)1Diia from Table  
16 RA3.1-2 in the Residential Appendices. This is in  
17 keeping with staff's efforts to be consistent with  
18 locating compliance requirements in the standards and  
19 limit the content of the appendices to procedures.

20           And then in 150.2(b)1F for small duct high-  
21 velocity systems, a minimum airflow rate of 250 CFM per  
22 ton has been added for compliance with the refrigerant  
23 charge verification protocol. This is consistent with  
24 the new minimum airflow rate given for these systems in  
25 Section 150.0(m)13D.

1           And with that I'm going to pass it off to Danny  
2 Tam who will finish up the prescriptive approach.

3           MR. TAM: Hi. Under 150.2(b)1H alteration for  
4 water heating, we're proposing to add two options for  
5 heat pumps in a situation where you're replacing an  
6 existing gas water heater to a pump. So the first option  
7 is a (indiscernible) minimum heat pump water heater,  
8 which will require you to add additional a PV capacity of  
9 1 kilowatt. Alternatively, a second option you can  
10 install NEEA Tier 3 heat pump water heater in Climate  
11 Zones 1 through 15. And just to clarify, if you already  
12 have the existing electric water heater, you don't have a  
13 gas line connect to the water heater location, you can  
14 already replace it with an electric water heater. So  
15 these options only effect when you're changing out a gas  
16 water heater to a heat pump water heater.

17           Okay. And then 150.2(b)1H -- (b)1I, so the  
18 changes are to clarify that adding a new surface layer or  
19 a roof with re-cover, shall be required to meet the  
20 requirement of 110.8.

21           And in Table 150.2(c) we added a row to define  
22 the standard design for altered doors with and without  
23 third-party verification.

24           Okay. And I'll hand it off to Jeff Miller.

25           MR. MILLER: The language in 150.2(b)2A was

1 revised to clarify mandatory requirements for performance  
2 alterations. The air filter requirements in 150.0(m)12  
3 and the fan efficacy requirements in 150.0(m)13 are  
4 applicable to entirely new or complete replacement space  
5 conditioning systems, also to entirely new or complete  
6 replacement duct systems.

7           For performance alterations, Table 150.2-C was  
8 modified to clarify the references to standards  
9 requirements expected to be used for establishing the  
10 standard design calculations. Space heating and space  
11 cooling systems reference Table 150.0-A or B for  
12 equipment efficiencies. Section Table 150.1-A or B for  
13 equipment efficiency; Section 150.2(b)1C for entirely new  
14 or complete replacement system requirements. And  
15 150.2(b)1F for refrigerant charge verification  
16 requirements.

17           Air distribution systems reference Sections  
18 150.2(b)1D and 150.2(b)1E for duct leakage requirements.

19           Changes done to Appendix 1-A are minor, but  
20 they did reference versions and removed references not  
21 used in the standards or joint appendices.

22           And at this point we're ready for comment.

23           MR. BOZORGCHAMI: So any comments on our  
24 Additions and Alterations sections for 150.2 Residential?  
25 Please, don't everybody jump at the mic. Ronald?

1           Okay.  So if you don't have any comments,  
2 Commissioner?

3           COMMISSIONER MCALLISTER:  I guess I just  
4 wanted to ask a little more information for people, so  
5 that they understand.  I guess I understand how it could  
6 be confusing to understand sort of the "if this, then  
7 that" in terms of replacement alteration.  You know, if I  
8 have an existing that's in such and such a condition, you  
9 know, it's gas and I want to go to heat pump, what are  
10 the requirements specifically that apply to me?  Under  
11 sort of a little bit of a structure, so that people can  
12 pull a decision tree kind of, if you will.  Just so  
13 people can understand what the realities are for their  
14 particular situation, so alterations and straight  
15 replacements and new construction all have different  
16 possibilities.  So I just want to make sure we're letting  
17 people get clear on all that.

18           MR. NESBITT:  George Nesbitt, HERS Rater.  Did  
19 you want the whole alterations chapter?  I can't bring it  
20 up.  Section 150.2(a)1B(v)i if I'm correct, so there's a  
21 -- prior it says if you're extending a 2 X 4 or 2 X 6  
22 wall there's a certain minimum of cavity insulation that  
23 you have to put in, but you don't have to put exterior  
24 insulation, because of the matching on the outside.  So  
25 then you also then say if no existing siding is removed

1 you don't have to put in the minimum R15 or R19, well  
2 okay it might be 21, I might have wrote it down wrong.

3 MR. SHEWMAKER: No, that was continuous  
4 insulation, not cavity insulation.

5 MR. BOZORGCHAMI: That's the continuous  
6 insulation. This is so if you're converting a garage.

7 MR. NESBITT: What you're saying in that  
8 section is that if you're not removing exterior siding  
9 basically it's saying you're not required to do whatever  
10 it was in the minimum, those R values. But what if  
11 you're removing the interior wall finish and the walls  
12 are open?

13 And I guess it begs the larger question is in  
14 most parts of the code, electrical, if you open up a wall  
15 you're supposed to upgrade the electrical to the code.  
16 So I've seen plenty of people open up walls, not insulate  
17 them, and close them back in whether it's from the inside  
18 or the outside.

19 MR. BOZORGCHAMI: Was that under a repair or  
20 was that under an addition or an alteration, because  
21 under a repair you just have to fix what you're touching.  
22 You don't have to fix everything if it's an alteration.  
23 So if I have a detached garage all right, I'm not going  
24 to expect you to put the continuous insulation by tearing  
25 up all the stucco system to meet our prescriptive

1 requirement. That just becomes too expensive, too  
2 cumbersome.

3 MR. NESBITT: Right, but if you have a wall  
4 cavity open from the inside, you wouldn't want it  
5 (indiscernible) insulated.

6 MR. BOZORGCHAMI: The question is what is the  
7 intent here? Is the intent to meet energy efficiency?  
8 Then yes, you would have to update the insulation.

9 MR. NESBITT: Yeah, because like there's a lot  
10 of times people remodel bathrooms, kitchens, they open  
11 interior walls completely. I have seen people not  
12 insulate them and perhaps the code needs to explicitly --

13 MR. BOZORGCHAMI: Part (indiscernible) or an  
14 alteration in that perspective then you have that.

15 MR. NESBITT: Right, perhaps the code is not  
16 clear.

17 MR. BOZORGCHAMI: We could clarify that in our  
18 manual actually. If you look in our Additions and  
19 Alterations Section in the manual it has a great  
20 explanation on that.

21 MR. NESBITT: In --

22 MR. STRAIT: George, if you've got a list  
23 somewhere to the earlier list of individual bullet items  
24 --

25 MR. NESBITT: I've got a short list.

1           MR. STRAIT: Well, I mean please do also submit  
2 those in writing to us, so we can use them as a checklist  
3 in reviewing the code. That would be useful.

4           MR. NESBITT: In the 150.2(a)1 area additions,  
5 the additions less than a 1,000 square feet are exempt  
6 from complying with 62 too. But then you sort of repeat  
7 that exception like twice with additions below 700 square  
8 feet as well as above 700 square feet. So it's sort of  
9 like you have the same -- basically saying if you're  
10 doing an addition less than 1,000 square feet, there are  
11 three places you're saying the same thing as opposed to  
12 just kind of saying it once.

13           I just wanted to hit on A2(d) the duct leakage,  
14 the multifamily at 12 percent. I mean, this was a change  
15 I think in 2016. Never, it was sort of made, there was  
16 never really seemed to be any real backing or  
17 justification. I mean, I can see that it could be higher  
18 than a single-family, because they're smaller duct  
19 systems, less joints, harder to get to 5 percent. But  
20 we've had no problems with any of our multifamily  
21 projects getting below 6 percent in the past.

22           Then, I can't pull it up, but like furnace  
23 replacements.

24           UNIDENTIFIED SPEAKER: (Off mic: indiscernible)

25           MR. NESBITT: Nah, that's okay.

1           So 2G, (a)2G, basically you can replace the  
2 same fuel. You allow heat pumps as an exception, so you  
3 can go from gas to a heat pump yet. And then 2H and  
4 water heaters, here again yes you can go to a heat pump,  
5 but it's not without additional requirements for PV  
6 system. So we're treating essentially the same  
7 technology differently between water heating and space  
8 heating. I'm not really sure that there's a good  
9 justification for that and the water change-outs have  
10 been probably one of the greatest areas of lack of  
11 enforcement. People putting in commercial gas water  
12 heaters, people converting to electric and the heat pump  
13 probably without showing any compliance in the electric  
14 code.

15           And that's about all I really want to say right  
16 now on this.

17           MR. BOZORGCHAMI: Thank you, George.

18           MS. PETRILLO-GROH: Laura Petrillo-Groh, AHRI.  
19 My concern is with Section 150.2(b)1H, the replacement  
20 water heater requirement. Just so I understand  
21 correctly, any time you want to replace a gas water  
22 heater with an electric water heater, you're required to  
23 install PVs on the roof with this proposal?

24           MR. STRAIT: No there are two options. There's  
25 -- oh, I'm sorry.

1           MR. TAM: Yeah. Currently there's no path to  
2 do that under prescriptive, so basically currently they  
3 have to do performance. So we're trying to add some ways  
4 for people to easily do that.

5           MR. SHIRAKH: They don't have to install PV.  
6 That's one of the options. The other one is they can  
7 (indiscernible).

8           MS. PETRILLO-GROH: Even in the -- and this is  
9 in the prescriptive or performance path for alterations?

10          MR. TAM: This is in the prescriptive path.  
11 We're still hashing out the performance path for  
12 alterations.

13          MS. PETRILLO-GROH: I still think that this  
14 presents problems in terms of preemption with minimum  
15 efficiency products tying energies of another product to  
16 the installation of a product or of requiring a more  
17 efficient product. I think it puts you into trouble with  
18 the federal preemption on those (indiscernible) covered  
19 products. The same concern I had before and I'm happy to  
20 submit in writing.

21          COMMISSIONER MCALLISTER: So my understanding  
22 is that we've had Legal look at this, but is that not the  
23 case? Anyway, we'll hash that out, but --

24          MR. STRAIT: I can confirm, we've had some  
25 discussions with our Legal Department, but we'll be happy

1 to take the comment letter that we receive and continue  
2 to have that conversation with them, in case there's  
3 something they missed.

4 COMMISSIONER MCALLISTER: Yeah.

5 MR. BRADT: Hello, Chris Bradt, Frontier Energy  
6 on behalf of the Bay Area Regional Energy Network, just a  
7 clarifying question about all the options for heat pump  
8 water heater electric replacement. In the express terms  
9 there was not discussion of that being limited to a  
10 garage or condition space. The 45-day language does.  
11 And I just was curious, I know performance-wise these  
12 products perform better in conditions (indiscernible)  
13 garage space. Is there any consideration of kind of the  
14 number of existing residential buildings where the  
15 existing water heater is actually located in a utility  
16 closet outside or a basement, on-condition basement  
17 space, and just understanding whether that is kind of  
18 going to constrain the opportunity to use these  
19 compliance pathways given existing building stock. Or an  
20 inquiry, I guess, for (indiscernible) --

21 MR. TAM: Again this is a performance option.  
22 There's a huge performance difference that depends on  
23 where you locate the water heater. So in that case if  
24 you -- you can go to the performance if you need to do  
25 that.

1 MR. BRADT: So all right, thank you.

2 MR. BOZORGCHAMI: So, any more comments? If  
3 not, we're going to go right into the view that ends part  
4 of the standards itself, the 150 sections for the  
5 residential.

6 Now we're going to the Joint Appendices and  
7 Peter Strait will do the presentations there for the  
8 first half.

9 MR. STRAIT: Thank you very much. We are going  
10 to be moving through all of the Joint Appendices and then  
11 opening up for comments, so just bear with us.

12 First, no changes are proposed to the following  
13 amendments. That's JA3, 6, 9 and 10, those are the same  
14 as they were in 2016, so those won't have slides other  
15 than this one.

16 For JA1 this is primarily a cleanup change. We  
17 removed the definitions that were duplicative of Part 6.  
18 We also added a few new definitions for JA11 and 12, both  
19 of which are new.

20 For JA2 climate zones we made some language  
21 that enables the use of metes-and-bounds polygons in GIS  
22 software. And we moved the zip code tables out of the  
23 regulations, so they could be updated between code  
24 cycles. So the language still allows for the use of  
25 those tables, but that way we have been updating them in

1 between code cycles when the U.S. Postal Service defines  
2 new zip codes, splits new zip codes. And in order to  
3 make sure this was not an underground regulation we moved  
4 those out.

5           Also this isn't just talking about the use of a  
6 GIS software. The Energy Commission has internally  
7 developed a GIS tool. We will be making that available  
8 in likely the next few days as a preview. That's  
9 something that can get much more accurate much more  
10 easily. You can enter lat/long coordinates or an address  
11 and it will show you exactly where you are on the map and  
12 exactly where the polygonal climate boundaries are on  
13 that map. So we're certainly looking forward to that.

14           For JA4 we've got a few simple changes. The U-  
15 factors for Spandrel panels and glass curtain walls,  
16 we've installed a new table to separate out curtain  
17 walls. The U-factors for log home walls and straw bale  
18 walls have been updated.

19           For JA5, this is primarily a code cleanup.  
20 We've cleaned up the language in that appendix. We've  
21 removed some unenforceable terms such as "other  
22 information display" or "consider security." We're  
23 removed the expansion port requirements. We don't think  
24 it's necessary to specify to that level of detail  
25 anymore. Simply, we want them to be communicative.

1           Also, several of the requirements have been  
2 moved into Section 110.12 in some form and we've really  
3 focused in JA5 on a thermostat design. This is an area  
4 that we definitely want close attention and feedback from  
5 stakeholders.

6           For JA7 I'm going to turn it over to Jeff  
7 Miller.

8           MR. MILLER: Reference showing Appendix JA7 was  
9 revised to update and clarify the existing requirements  
10 throughout and generally that was done.

11           The document registration numbering convention  
12 information in Section JA7.5 will be moved into the Data  
13 Registry Requirements Manual.

14           Section JA7.7, that's information on data  
15 exchange, was clarified and revised to include new  
16 information on external digital data source services that  
17 may be approved for use for filling out compliance  
18 documentation in data registries.

19           JA7.8 was revised to incorporate approval  
20 procedures previously given in Section JA7.9 and to  
21 delete Section JA7.9. Thus Section JA7.8 now includes  
22 approval procedures for data transmittal services between  
23 data registries and cloud-based data services such as  
24 those used by diagnostic tool manufacturers. These  
25 external digital data sources are expected to be used as

1 an alternative to keyed-in data entry for completion of  
2 certain parts of some compliance documents.

3 MR. STRAIT: Okay. Thank you, Jeff.

4 For JA8, the changes proposed are intended to  
5 provide clarity and updates requirements to align with  
6 current federal and ENERGY STAR requirements, the most  
7 significant changes updating the lumen maintenance and  
8 graded life tests to latest ENERGY STAR tests and no  
9 longer requiring any modifications to those tests. We  
10 are also removing the more strict Du'v' rating and we're  
11 moving the need for Title 20 lamps to meet two separate  
12 CRI requirements. If there is a CRI standard in Title 20  
13 then meeting that CRI standard will count as meeting the  
14 CRI standard for JA8.

15 Lastly, based on requests from stakeholders  
16 we've added consideration for an off-like standby mode.  
17 This is for devices that don't use a break and a circuit  
18 to turn lighting off and thus may use a negligible amount  
19 of power to elicit for a control signal.

20 So and now for the new Appendices here is Mazi  
21 Shirakh.

22 MR. SHIRAKH: It's Mazi Shirakh, I'm going to  
23 be talking about JA11 and JA12. These are brand-new  
24 appendices and JA11 is the qualification requirements for  
25 photovoltaic systems and JA12 is for battery storage.

1 And these are the highlights of both appendices and you  
2 should really download them and take a look at them. But  
3 briefly, a system orientation PV system, must be within  
4 90 to 300 degrees. This is consistent with the  
5 orientation in the prescriptive requirements that I  
6 described this morning.

7           The minimum shading criteria, for systems that  
8 are going to comply either prescriptively or using a  
9 simplified approach in their performance, they must be  
10 free of all and any shading. So that needs to be  
11 verified first by the installer, and then by the building  
12 department. If there is any problem, like you have got  
13 chimneys, skylights, mechanical equipment, adjacent  
14 buildings, trees and so forth, then you should go to the  
15 performance approach.

16           Solar access verification, again at the time of  
17 module installation the installer measures the shading  
18 condition with a solar assessment tool. Again, this is  
19 part of this verification that if you're using  
20 prescriptive or simplified performance of course there is  
21 no shading problem. And if there is you should go to the  
22 performance.

23           System monitoring requirement, this is  
24 important. It's basically giving the builder or the  
25 building owner or whoever is operating the PV system the

1 tools to be able to verify the performance of their own  
2 system. This is typically a computer based, a web portal  
3 or and in addition to that, a smart phone device where  
4 the homeowner can actually log in and look at the very  
5 performance of their system, kilowatt hours on an hourly  
6 basis, daily basis, monthly basis and so forth. So this  
7 is a tool that will enable the homeowners to make sure  
8 that their system is operating satisfactorily after it's  
9 been installed.

10 Interconnection requirements, the installer,  
11 the installed inverter must meet UL 1741 and CPUC Rule 21  
12 for smart inverters, so in short, they need to be smart  
13 inverters.

14 And enforcement agency, an enforcement agency  
15 must verify that all certificates of compliance  
16 installation for the PV system are submitted and valid.  
17 I mean, basically they need to make sure that all the  
18 forms have been submitted and they're read. And  
19 enforcement must also verify minimal shading of the PV  
20 and array by using an online satellite mapping tool. So  
21 what this is, is the Bidding Department will have two  
22 choices. Once they receive the CF2R they can either pay  
23 a site visit and make sure that the compliance document  
24 is reporting accurate information. Or they can actually  
25 log in using something like a Google Earth to verify if

1 there is or there is no shading at that site.

2           JA12 is qualification requirements for battery  
3 storage. It's again the new appendix and it has the  
4 minimum qualification requirements for battery storage  
5 systems that are installed for a compliance credit with  
6 the standards.

7           Minimum performance requirements, these systems  
8 must meet some minimum requirements. The first one is it  
9 has to have at least a usable capacity of 5 kilowatt  
10 hours. So if you're installing a battery storage system  
11 to get an EDR credit it must be 5 kilowatt hours or  
12 greater. It must either have round-trip efficiency or  
13 charge/discharge efficiency is another term, of at least  
14 80 percent. Now, you can put up a battery storage that's  
15 less than 80 percent, but you'll get a penalty for that.  
16 If you have a storage system that has a better than 80  
17 percent charge/discharge then you get a credit for that.

18           And it's also energy capacity retention must be  
19 70 percent after 4,000 cycles or 70 percent under a ten-  
20 year warranty.

21           General control requirements for all JA12  
22 compliant batteries, these batteries must have the  
23 capability to be remotely programmed. Again, we're  
24 talking about the capability. It must have the  
25 capability to be a program to change the charge/discharge

1 periods. It must be programmed first to meet the load of  
2 the dwelling with the capability to discharge to the grid  
3 upon receiving a demand response signal from the utility  
4 or an aggregator or some third party.

5           And these systems are required to do a self-  
6 check four times a year to make sure that they are not  
7 left in the back-up power mode. And they're actually in  
8 a program mode. And they're actually in a program mode.  
9 And the reason for that is the system that is left in a  
10 backup power mode brings little value to the grid or the  
11 homeowner. So four times a year they need to do a  
12 self-check.

13           At the time of inspection, the battery shall  
14 meet one of the following control requirements. So  
15 there's three control requirements that the batteries  
16 must be able to provide. And given the operation, they  
17 will have to defer to one of these controls.

18           One of them is called the basic control. This  
19 is the control strategy when the battery gets charged  
20 when the output of the PV system, the generation, is  
21 greater than the building load. So if you have excess  
22 generation then they'll go into the battery. And then  
23 they'll discharge when the reverse is true, is when the  
24 load of the building is greater than generation, then the  
25 battery will start discharging rather than buying from

1 the grid.

2           So the time-of-use controls is a little bit  
3 more sophisticated than that and that allows charging of  
4 the battery during nonpeak TOU hours. So in the morning,  
5 in the evenings and midday when it's not a peak-TOU hours  
6 the batteries could get charged from the PV or the grid.  
7 But they discharge to the dwelling or the grid only  
8 during the peak hours from July 1 through September 30th.

9           And the remainder of the year, that's all in  
10 the winter time, spring, anything other than they'll be  
11 operating in the basic control.

12           The advanced demand response control, that  
13 probably is the highest level. It's the most  
14 sophisticated. So this is a system where the battery is  
15 either programmed as a basic control or time-of-use, but  
16 it will discharge to the grid upon receiving a DR signal.  
17 And these signals will come probably from the utility or  
18 a third-party aggregator. And the difference between  
19 this and the TOU is that this is more of a precision  
20 approach where they identify the highest value hours of  
21 the day. And the battery will hold back the charge and  
22 will only discharge during those highest values, so  
23 that's why this is a DR signal that requires some  
24 interaction with either the utility or a third-party  
25 aggregator.

1           So that's it for JA11 and 12.

2           MR. BOZORGCHAMI: Okay. Any comments?

3           MS. HERNANDEZ: Good afternoon, Tanya Hernandez  
4 with Acuity Brands. I have some comments and questions  
5 about JA8 that I alluded to before. A couple of things,  
6 first is the treatment of luminaires in this particular  
7 specification, particularly the integrated type, we'll  
8 call inseparable. I know that there's been some cleanup  
9 there, but there are a couple of questions that have been  
10 left there.

11           For lumen maintenance, products like that have  
12 been able to use the IAS LM-80 TM-21 path for lumen  
13 maintenance and for radiant life. And it appears that's  
14 the direction that the Commission is going in, based on  
15 the updates. However, the way it's written it basically  
16 points to the scope of ENERGY STAR, meaning if you're a  
17 luminaire that falls under the scope of ENERGY STAR you  
18 can use that pathway. But what if you're a luminaire  
19 that does not fall under the scope of ENERGY STAR, but is  
20 still meant to be or can be used in a residential  
21 setting? So that's one thing that appears not to be  
22 clear there.

23           There's also the -- so the cleanup language is  
24 helpful as far as clarifying that those products do not  
25 have be tested again, using 6,000 hours, which is nine

1 months of testing for lumen maintenance. However, there  
2 is a survival rate requirement that has been historically  
3 applied to ENERGY STAR lamps and not to luminaires. And  
4 it is not clear if the Commission wants to move forward  
5 with making the luminaires that are able to use the  
6 somewhat reduced path of LM-80 TM-21. Will they still  
7 have to go through the 6,000 hour testing in order to  
8 determine whether there's a 90 percent or a 100 hundred  
9 percent survival rate per JA8.

10 I did also want to comment that again, we were  
11 happy to see that the 3,500 Kelvin had been put into I  
12 guess I think it was Section 150.0 had been pulled out  
13 and has been now made across the board, 4,000 Kelvin for  
14 both luminaires and lamps. And I was actually a little  
15 surprised to see lamps get a break on that one, but I did  
16 want to acknowledge that one as well.

17 And I think that's my comments for JA8.

18 MR. STRAIT: Thank you very much. To answer  
19 two of the questions here, the first about the survival  
20 rate? The survival rate language simply says, "For tests  
21 using a sample group of ten units, 90 percent of tested  
22 units shall be operational at the completion of the test.  
23 And for tests using a sample size less than ten, all  
24 tested units should be operational at the completion of  
25 the test." And this is just to prevent cases where if it

1 was taking one of those shorter tests that the unit  
2 failed during that test, it's saying you're going to have  
3 to restart with a new unit. You can't just swap in a  
4 fresh unit and then can pick up where you left off, which  
5 makes sense. But if we don't say it somewhere someone  
6 will ask.

7 MS. HERNANDEZ: Okay. So to be clear, when you  
8 use LM-80 data, that's chip level or package data,  
9 there's no survival test for that. You won't have any  
10 data for that. If you do survival testing it will have  
11 to be on an end-product, not that level data. That's why  
12 it's not in the ENERGY STAR luminaires packets and the  
13 lamps pack.

14 MR. STRAIT: Okay. We'll look at narrowing  
15 that to units that pass through the lamps specification  
16 if that's appropriate.

17 MS. HERNANDEZ: Okay.

18 MR. STRAIT: So you had, I think one other  
19 question, oh about the extension between whether you  
20 would pass through the luminaire to the lamps test  
21 procedure. We tried to make the language more direct in  
22 saying if you fall within the scope of the ENERGY STAR  
23 test procedure for luminaires, you use that test for  
24 everything else. Regardless if you're outside of that  
25 luminaires' box use the lamps test. We found the lamps

1 test to be the more generally applicable of the two, it's  
2 more able to accommodate a wider variety of potential  
3 products. But otherwise the intent is simply to align as  
4 closely as possible with the ENERGY STAR when it comes to  
5 determining these particular aspects of the devices.

6 MS. HERNANDEZ: Okay. So I guess my comment  
7 is, and then having worked on the ENERGY STAR Program is  
8 that the lamp spec is supposed to be more I guess really  
9 more stringent. And to cover more applications, because  
10 you expect a lamp to go into something, right? And so  
11 luminaires, integrated luminaires, you expect the design  
12 of the luminaire to actually take care of all those  
13 issues. So you're not taking something and throwing it  
14 into something and hoping that it performs in a  
15 particular way.

16 So the comment about luminaires that don't  
17 necessarily fall under ENERGY STAR scope, I mean we all  
18 know the ENERGY STAR is really just defined however they  
19 wanted it defined. So down lights are in there, but then  
20 sort of strip lights aren't even though those are lights  
21 that would go in your garage, right? But they would  
22 still get the same type of treatment except they are of  
23 course not under that scope. They are under another  
24 program scope, which is not (indiscernible).

25 MR. STRAIT: Sure, just as a -- it would be

1 helpful to us to identify the specific products and those  
2 features that put them outside the ENERGY STAR luminaire  
3 specification, that you feel the luminaire's test would  
4 be more appropriate for. And identify why the lamps test  
5 would not be appropriate. That would be useful to us in  
6 your comments.

7 MS. HERNANDEZ: Okay. And my real issue is  
8 that any long-term lumen maintenance testing for a  
9 luminaire that's integrated is redundant, because you've  
10 already had all this testing done in applications that  
11 you should not expect to be more stringent like  
12 (indiscernible) lamp and a luminaire. Thank you.

13 MR. STRAIT: Sure, thank you very much.

14 MS. HERNANDEZ: I

15 MR. BERELSON: Serj Berelson, Nest Labs, good  
16 afternoon. So I want to talk about JA5. So nest  
17 appreciates the Commission's efforts to streamline and  
18 clean up Joint Appendix 5. JA5 is now cleaner and  
19 clearer. What is missing is new language that advances  
20 the energy efficiency capabilities of occupant controlled  
21 smart thermostats, OCSTs.

22 Title 24 is at its core, an energy efficiency  
23 program. Through energy efficiency measures like those  
24 available on OCSTs demand can be avoided all together.  
25 Therefore we suggest that the Commission consider adding

1 features to the OCST requirements that enhance a building  
2 occupant's ability to function with greater energy  
3 efficiency rather than focusing solely on the demand  
4 response capabilities of OCSTs. For example, JA5 should  
5 be revised to require that OCSTs include features  
6 designed to save energy such as the ability for the  
7 customer to set a schedule or even have the thermostat  
8 create one for them, occupancy sensing so that the  
9 thermostat can automatically shift to a more efficient  
10 setting if no one is home, the ability to control the  
11 thermostat remotely, the ability to provide users with  
12 information on their HVAC energy usage in a way that  
13 positively reinforces energy efficiency behavior. And  
14 finally, that all smart thermostats should work as a  
15 basic smart thermostat in the absence of connectivity to  
16 an Internet service provider.

17           Revising JA5 to incorporate these requirements  
18 will create a greater focus on energy efficiency to go  
19 along with the current focus on demand response. Smart  
20 thermostats can be a powerful support to both EE and DR.  
21 Let's take maximum advantage of this dual benefit. We  
22 thank the Commission for providing this opportunity to  
23 provide these initial comments and we will submit them in  
24 written form as well.

25           MR. HARING: Good afternoon, Rick Haring,

1 Philips Lighting. Again, I'd like to thank the  
2 Commission for allowing us to participate in this  
3 rulemaking.

4           At this time we'd like to respond to recent  
5 comments, docket comments, that the Commission received  
6 on its pre-rulemaking proposal to include NEMA 77 as a  
7 test method for flicker in JA8. Philips Lighting fully  
8 supports the use of NEMA 77 as a test method for flicker  
9 in California. It is perhaps the most robust test method  
10 for flicker that has been developed to date and it is a  
11 real-world approach with scientific backing and support  
12 to validate its metrics and approach.

13           We believe that NEMA 77 is a substantial  
14 improvement over JA10. The so-called low hurdle of NEMA  
15 77 is orders of magnitude stricter than JA10 over much of  
16 the frequency range. In particular, there range where  
17 features are most likely to occur. NEMA 77 is much  
18 closer to the IEEE 1789 specification rather than the  
19 present metric.

20           The NEMA 77 SVM and PSG metrics are being  
21 examined by the IAS, the IEC, the ENERGY STAR and CIE for  
22 using their specifications and requirements. And it is  
23 becoming the de facto standard for the lighting  
24 community.

25           To address the assertion that flicker that

1 occurs at 100 to 200 hertz, and the serious negative  
2 impacts on specific segments of the population, which  
3 cause migraines, headaches, reduce visual performance we  
4 site the IEEE 1789, which states that migraines have not  
5 been proven to originate from frequencies as low as 60  
6 hertz. In fact, it is noted in 1789 that increasing the  
7 frequency of a monitor to 72 hertz was sufficient to  
8 remove the occurrence of migraine headaches. As the  
9 Philips comments previously submitted to the Title 24  
10 docket show a value of SVM less than 1.6 voids the  
11 regions shown in the literature to be associated with  
12 headaches and performance effects.

13           It has also been commented that roughly 50  
14 percent of the population is able to detect the  
15 stroboscopic effect of an SVM of 1, which means that  
16 flicker is just barely perceptible. The study referenced  
17 was conducted in a laboratory atmosphere with a single  
18 light source, the viewer instructed in what to look for  
19 and with motion present. In real life, there are  
20 multiple light sources and there will not be consistent  
21 motion. In contrast, the present specification in Title  
22 24 allows light at 30 percent modulation. That's below  
23 50 hertz at which flicker is visible for nearly 100  
24 percent of the population without motion.

25           NEMA 77 allows about 40 percent modulations at

1 120 hertz with an SVM of 1.6 if the modulated light  
2 source is a pure sine wave.  
3 However, the allowed modulation depths is lower if the  
4 wave form is more complicated. Changes in the frequency  
5 and in the wave form are accounted for in this method,  
6 because it is based on human sensitivity. Title 24's  
7 specification is not based on human perception, it allows  
8 light modulation at roughly six times the recommended  
9 limit to avoid seizures in people with photo-epileptic  
10 sensitivity.

11 In all cases, we would strongly urge that the  
12 Building Efficiency Standards reference nationally  
13 recognized standards whenever possible. It provides  
14 clarity for consumers and professionals alike.

15 We plan to submit additional comments to the  
16 docket in writing and we would be happy to provide  
17 additional documentation to substantiate our comments if  
18 necessary. In light of these comments, we ask if the  
19 Commission can share their rationale to remove the NEMA  
20 77 options in the 45-day express terms. Thank you.

21 MR. HAMMON: Good afternoon. Rob Hammon,  
22 BIRAenergy. I was wondering if I could be nostalgic for  
23 a minute and just go back about ten years, Bill, when you  
24 and Michael Wheeler were in a room together planning the  
25 Strategic Plan and we came up with the idea of zero net

1 energy home by 2020. I believe that was the start of  
2 this whole endeavor. At any rate, we're almost there.  
3 Congratulations to all of us who have been working really  
4 hard on it.

5 I just wanted to reiterate for the JA12 the  
6 need for controls. And that there needs to be other  
7 items that could be encouraged under that portion of the  
8 code. I'm particularly interested in thermal mass. I  
9 think that there's lots of evidence that a mass in a home  
10 can flatten its load curve, reduce the height of the load  
11 curve and solve a lot of problems without costing in  
12 energy, like batteries do.

13 I also fear that if we had a big incursion of  
14 batteries into homes in the marketplace, we would have to  
15 make sure that they don't turn on and off at the same  
16 time. It'd be a disaster. And I'm not convinced that we  
17 have the controls to do that at this time.

18 And again, it bothers me to replace efficiency  
19 with electric storage credit. And I wonder if it's  
20 coincidence that the size of the credit is the same as  
21 the size of the credit that you would get for high-  
22 performance walls. I'll just that that one hang.

23 So I'm looking forward to seeing information on  
24 how the other features that could be -- for which you get  
25 extra credit if you will -- for putting things like more

1 mass into the homes under this credit for storage. And I  
2 do have written comments that are more lucid than my  
3 speech.

4 And I will turn them in now. Thank you very  
5 much.

6 MR. SHIRAKH: So we are adding  
6 more compliance credits for thermal storage strategies.

7 MR. HAMMON: Yes.

8 MR. SHIRAKH: So if it's not in the next  
9 revision, it will be in the future revision.

10 MR. HAMMON: Great. I appreciate it, Mazi.  
11 Thank you.

12 MR. NESBITT: George Nesbit, HERS Rater. Just  
13 JA1 on the definitions, thanks for removing all  
14 duplicates. I know you explained previously, it seems to  
15 me that all the definitions should be in one place. I  
16 know you explained some reason, that for some reason the  
17 Joint Appendices definitions couldn't be with the rest of  
18 the code. It doesn't make sense.

19 But JA2.1 and 2.2 in removing either all the  
20 information or removing, I guess, climate zone from the  
21 city weather list it seems that large parts of the state,  
22 it doesn't change. Whole county is in a climate zone.  
23 It's never going to change unless we change our climate  
24 zone boundaries. Same is true of most cities.

25 Now, there are perhaps a few places that are

1 split in climate zones and things like zip codes do  
2 change. I live in 94608, in Oakland yet I'm serviced out  
3 of the Emeryville Post Office, right? Two different  
4 cities, the zip code covers it and those things do  
5 change. I know you have that interactive thing, but  
6 still I think it's nice if you have a chart and perhaps  
7 it could just start if you're in this county, you're in  
8 this climate zone, end of question. And then go into  
9 more details as those cities or zip codes that might  
10 change.

11           Because also when you get to a computer  
12 software, how are you going to determine what climate  
13 zone when you put a project in? You're putting in a  
14 city. I'm not sure if now you're also putting in a zip  
15 code. So I mean, essentially, you have to have that kind  
16 of a list to know on some of those.

17           MR. STRAIT: So, just to be clear we are going  
18 to continue to publish the Excel file that has all those  
19 all, so that table will still exist, it just won't be  
20 part of JA2.

21           MR. NESBITT: Yeah. Yeah. I mean anything  
22 that really doesn't need to be part into the code,  
23 because it does change, you know that can, better to have  
24 it out.

25           So JA11, the PV systems. So in 11.2, under

1 system orientation it says, "No PV systems or strings  
2 with module pitches greater than blah, blah, blah,  
3 because blah, blah, blah doesn't matter at the moment."  
4 In the next sentence, or paragraph, in the same section  
5 it says, "When CFI is selected in the performance  
6 calculation the PV array shall." So you're using  
7 multiple, sort of terms, for the systems or part of the  
8 systems where I think what you really care about is  
9 actually that all of the panels are within an orientation  
10 or a tilt.

11           Although when we do get to shading, the shading  
12 analysis is a collection of panels in an array. You can  
13 have multiple arrays on a building with different tilts  
14 and orientations. So some of that language seems  
15 inconsistent or like in the sense of no PV systems or  
16 strings. Well, microinverters don't have strings. Yeah,  
17 it's a PV system, so it just seems like the right term,  
18 PV panels, in that kind of place.

19           Just like Russ said, "Yes, HERS raters have  
20 been verifying these things for a decade," and should be,  
21 because we know the building department does such a great  
22 job.

23           So in JA12, the battery requirements, I'll  
24 bring it up here. Two things, the 12-2.2 is where you  
25 say you want a minimum of 5 kilowatts of usable battery

1 capacity. It seems to me that that figure should be  
2 based on the array size. If I have a half a kilowatt  
3 system or a three-quarter, because that's what I need,  
4 because my house is small or whatever, 5 may be too big.  
5 So and I guess really that capacity is also going to be  
6 dependent on how you're using it. What your use case is.  
7 How you're trying to offset and shift.

8           A question under 12.2.3.2, which is the time of  
9 use case. When you say and it can only charge during  
10 peak TOU and I guess discharge at non-peak, would be that  
11 based on each individual utility, because they do have  
12 different peak and off-peak schedules.

13           The other I guess comment about the use cases  
14 is honestly a system could be used for multiple. And I  
15 don't know how we account for that, because you could  
16 have it on a basic control or a TOU control. But if  
17 there's a demand response that may just say, "We need you  
18 to discharge now even though it's peak." So I don't know  
19 to what extent we are trying to limit the use case or we  
20 need to realize that multiple use cases can actually come  
21 onto play. And honestly, based on season, maybe a  
22 different use case is better in different cases. I guess  
23 it depends on what problem we're trying to solve.

24           MR. MORRIS: Hi. Alex Morris with the  
25 California Energy Storage Alliance. I just -- some very

1 high level input. I want to say thank you for your work  
2 developing the JA12 pathway to for energy storage to  
3 support the goals of these energy efficiency and 224  
4 requirements. I know there's maybe some small tuning we  
5 may suggest still in comments, but thanks for including  
6 it. And we feel excited to have a pathway to support the  
7 goals.

8 MR. SHIRAKH: And can you send your comments to  
9 us?

10 MR. MORRIS: Absolutely.

11 MR. SHIRAKH: As soon as possible. Thanks.

12 MR. RAYMER: Thank you, Bob Raymer with the  
13 California Building Industry Association. With regards  
14 to JA12, and more to the point to the compliance credit  
15 being given for storage, for those of you who aren't  
16 aware of why CBIA so strongly supports this storage  
17 credit -- quite frankly we were hoping the Commission  
18 would give more, but we understand that's push and pull  
19 here and this is probably some good middle ground. But  
20 there's a number of reasons that have come into play  
21 here.

22 First off, obviously the solar system is making  
23 the vast majority of its power between the hours of 10:00  
24 in the morning and 3:00 o'clock in the afternoon. And as  
25 we head into time of use rates, it's our feeling that

1 consumers are probably going to be a little bit more  
2 upset when they start getting those bills than perhaps  
3 the utilities are believing. But that's just our  
4 projection.

5           We think storage is going to become a far more  
6 marketable item in the three to four year time period.  
7 And so the ability to capture that solar power during the  
8 middle of the day and have it ready for use onsite during  
9 peak load periods, when power is costing two to two-and-  
10 a-half times more than what it would cost at 10:00  
11 o'clock in the morning is an extremely attractive thing.

12           We've also looked at, with great interest the  
13 staff analysis that shows that with slightly more PV than  
14 is currently going to be required in conjunction with the  
15 battery can get you to full ZNE, is extremely attractive.  
16 We anticipate there's going to be a steady number of  
17 jurisdictions adopting zero net energy, or close to zero  
18 net energy ordinances above and beyond what the Energy  
19 Commission is proposing. And we need to be ready to move  
20 forward with something that can be identified and  
21 approved by a local building official and having this  
22 compliance opportunity with sub storage early on is going  
23 to be very helpful.

24           So we're kind of taking the long view here, but  
25 this sort of takes a big step in the right direction. It

1 just makes all the sense in the world to us. Thank you.

2 MR. SHIRAKH: Thank you, Bob.

3 MR. MCHUGH: Jon McHugh, at McHugh Energy. In  
4 general, I'm very supportive of all the changes that have  
5 been made to the various JA sections. And in particular,  
6 with JA8, the harmonization with ENERGY STAR, I think is  
7 going to make compliance a lot easier for manufacturers.  
8 I'm speaking against though the splitting of the or  
9 combining of the split related to the 3,000 Kelvin.

10 And I'd just like to note that, staff, this is  
11 going to come up tomorrow. But I believe staff has  
12 comments about the 3,000 Kelvin limitation for outdoor  
13 lighting. And in their proposal for the voluntary  
14 standard for outdoor lighting it says, "The purpose of  
15 the proposed regulation or limit light frequencies in  
16 outdoor lighting applications that have been found to  
17 disturb biological systems' diurnal patterns. This  
18 change is necessary to avoid an unintended consequence of  
19 adding lighting power allowance restrictions, in some  
20 cases when it's less expensive to manufacture higher  
21 color temperature lamps, which have a higher potential to  
22 interrupt biological systems."

23 So I'm all in favor of saving the turtles and  
24 saving the frogs, but I'm also interested in saving the  
25 humans. And when we talk about light sources in

1 buildings the impact on circadian rhythms has to do with  
2 lower colored light. There's been -- which is already in  
3 the docket. I see that someone had placed some  
4 information in the docket about the impact of blue light  
5 on sleeping patterns and how that relates to sleep  
6 patterns and health and cancer and those kinds of things.  
7 And the California Energy Commission has kind of been a  
8 leader on protecting human health, through not just its  
9 environmental regulations, but also its energy  
10 regulations.

11           And I think it's as far back as 1992 we had  
12 requirements for ultrasonic occupancy sensors. You can't  
13 hear them, but they actually have an impact. And if  
14 you've been following the Cuban Embassy and that there's  
15 potentially these sound weapons or whatever, there's a  
16 history of trying to protect human health.

17           But our original, when we proposed the 300  
18 Kelvin limitation for separable and lamps, the purpose  
19 was essentially to displace low-efficacy sources. And if  
20 we change JA8 so that 4,000 Kelvin sources are now  
21 separable sources the potential is, is now someone who  
22 likes a -- the homeowner, after they've bought the house,  
23 they like a warmer colored source then they have the  
24 opportunity of putting in an incandescent source.

25           Whereas if someone has -- if they're sort of

1 stuck with, "Oh, I've got a 3,000 or 2,700 K lamp in that  
2 same socket that's high efficacy," if they chose -- they  
3 really would like a cooler source, the only cooler  
4 sources are higher efficacy. And this sort of relates  
5 back to the concept of nudging. We're not hitting people  
6 over the head, just the home builder puts in a particular  
7 light source and it just gives nudge to the consumer.  
8 "Hey, is this warm colored LED, is this a nice source?"  
9 So I'm kind of in agreement with Tanya that I don't know  
10 why we're necessarily changing this rule set here. This  
11 is something that's sort of -- it's buried back in JA8 as  
12 something manufacturers meet and the building official  
13 and the designers, they just need to purchase the JA8  
14 lamp.

15 Thank you very much.

16 MR. HODGSON: Mike Hodgson, ConSol representing  
17 CBIA. A couple of quick items, Joint Appendix 4 or Table  
18 4.3.1.3, thermal properties of insulating concrete forms.  
19 This table has not been updated since the late '90s and  
20 there's new information that was presented to staff a few  
21 months ago. And I was just hoping that that was going to  
22 be incorporated into the appendices, but also the  
23 manuals.

24 MR. BOZORGCHAMI: That will be updated, Mike.

25 MR. HODGSON: Great. Thanks, I mean they're

1 insignificant in (indiscernible).

2 MR. BOZORGCHAMI: I mean they're insignificant  
3 changes, but

4 MR. HODGSON: Yeah.

5 MR. BOZORGCHAMI: But no, that would be on the  
6 third digit, so we have Rob Hammon looking at that right  
7 now and it takes him a little bit long to understand.

8 MR. HODGSON: Great. As soon as he can figure  
9 out buried ducts, let me know. Okay?

10 MR. BOZORGCHAMI: Sure. (Laughter.)

11 MR. HODGSON: On Joint Appendix 12, JA12.3, on  
12 the interconnection requirements, this is to build on a  
13 comment I brought in earlier and I got very good  
14 clarification from PG&E and other utilities, that they  
15 have reviewed the sizing requirements for -- I should not  
16 speak for them. They have put comments into the record,  
17 which we need to review, but it looks like the sizing  
18 requirements that the Commission has recommended would be  
19 reasonable.

20 One of the things that concerns me and I  
21 appreciate the battery credit, I'm not trying to be  
22 negative at all on that, but on the interconnection  
23 requirement if you put in a battery currently in CBECC  
24 you get to increase your solar size by approximately 1.6  
25 times. And that's without changing any other features in

1 the home, other than adding a battery. Perfectly fine.

2           What I want to make sure is that that does not  
3 violate Rule 21. Again, the whole point is we want to  
4 meet the standards in the most cost-effective way  
5 possible, possibly using newer technology which would be  
6 batteries. But then we want to make sure we also can  
7 hook up and get a building permit. Thanks.

8           MR. BOZORGCHAMI: Thank you, Mike.

9           MR. BOESENBERG: Good afternoon. I'm Alex  
10 Boesenberg from the National Electrical Manufacturers  
11 Association. Before I speak, if you'll indulge me, Mr.  
12 Commissioner, I have a scientist on the Webinar with his  
13 hand raised. I don't want to say anything redundant to  
14 what he has to say, so if Dr. Nachtrieb could speak  
15 before me?

16           DR. NACHTRIEB: Good afternoon. This is Robert  
17 Nachtrieb. I work for Lutron Electronics. And thank you  
18 to Alex Boesenberg for taking a place in line for me. I  
19 am also the Vice Chairman of the Lighting Systems  
20 Divisions at NEMA.

21           I'd like to thank the Commission for the  
22 opportunity to speak today. I'd like to raise a topic  
23 that was introduced by Rick Haring from Philips earlier  
24 today. This was with regards to JA8 and the exclusion of  
25 the NEMA 77 standard for flicker for consideration.

1           NEMA 77 addresses an important topic, a topic  
2 that is already acknowledged by the Commission to be  
3 important. LEDs save energy over other light sources and  
4 so adoption of LEDs is important for energy savings  
5 goals. Dimming saves energy further and therefore  
6 adoption by the market of dimming of LEDs is important  
7 for achieving the Commission's goals. So we certainly  
8 share the Commission's perspective that flicker is an  
9 important topic to be included.

10           The NEMA 77 standard for flicker includes many  
11 important improvements. In addition to having a robust  
12 method of measurement, it describes details for the  
13 synthetic mode that will be used to test the dimmers, the  
14 synthetic wave form that would be used to test the LEDs  
15 under flickering. There are specific tests in NEMA 77  
16 for testing flicker of phase cut dimmers.

17           And as Rick Herring, from Philips mentioned,  
18 NEMA 77 is consistent with international standards and is  
19 similar in many ways to the IEEE recommended practice  
20 1789 and the work performed by the Lighting Research  
21 Center at Rensselaer Polytechnic Institute.

22           The data upon which the human sensitivity  
23 curves were derived in the NEMA 77 standard are  
24 published. And so as with any published data, it's  
25 subject to discussion, for criticism. We and have a good

1 discussion about sample size or test conditions at the  
2 laboratory that were used to generate the data. But that  
3 is a legitimate scientific concern. And that is a debate  
4 that we should have.

5 I think that to exclude NEMA 77 as a whole from  
6 JA8 is a mistake. And I would ask the Commission to  
7 reconsider that. And following Rick Haring, I would  
8 welcome the opportunity to review the rationale of the  
9 Commission and to work together to find a way that NEMA  
10 77 can be included in JA8. Thank you.

11 MR. BOESENBERG: One correction, that's JA10.  
12 Dr. Nachtrieb is in Sidney, Australia. He's tired.  
13 (Laughter.)

14 MR. STRAIT: That's perfectly fine. I  
15 understand.

16 Actually, I can answer the question of  
17 rationale right now. When it was introduced in the pre-  
18 rulemaking, we had introduced it with an SPM of 1.0, to  
19 avoid having a portion of the standard be below what is  
20 currently required. So that would be a roll back of  
21 standards. Even then the tail end of it would still have  
22 referenced a weakening of standards and we have statute  
23 that is very explicit and preventing us from rolling back  
24 or weakening standards.

25 So because we saw that on the one hand NEMA was

1 not happy with what we had proposed. On the other we had  
2 already had a stakeholder saying that even that limit was  
3 a was a roll back of standards. It was decided we didn't  
4 want to take the risk of moving it forward when it would  
5 be easily defeated by calling it roll back. So because  
6 it's got that area that is below what we're currently  
7 requiring, that's what made it difficult for us to carry  
8 forward. And from our perspective, it was a nice to  
9 have, not a required to have, for the operation of the  
10 California code. And for that reason, we decided not to  
11 carry it forward.

12 DR. NACHTRIEB: Thank you. My only perspective  
13 then is that there's a lot of baby in that bath water.  
14 And if we're having a discussion about one number or one  
15 portion of the curve, there's a lot of value that we lose  
16 by excluding the entire standard. Thank you.

17 And thank you, Alex, for correcting my  
18 misspeaking JA10 throughout.

19 MR. SHIRAKH: We'll be happy to have further  
20 discussions with you on this topic. We think flicker is  
21 very important.

22 MR. BOESENBERG: So I have a --

23 DR. NACHTRIEB: But we agree.

24 MR. BOESENBERG: -- couple of other points.

25 Alex Boesenber, NEMA again.

1           It was a couple of years ago, several of us  
2 myself included stood up and said how we were in  
3 opposition to Joint Appendix 10 as proposed. There was a  
4 long list of reasons. But in the end, effectively,  
5 Commissioner, you stated it pretty clearly. You felt the  
6 need to have a flicker standard and in the absence of  
7 anything else JA10 was approved as proposed. And you  
8 ended it with, "If when you've got something better, come  
9 to me."

10           We're back. And I've had a stable of PhD  
11 physicists working on this for years. And I understand  
12 and I previously heard the comment about roll back. If  
13 an overly restraining [sic] requirement was put in,  
14 because that's all there was at the time I'd like to  
15 think there was some mechanism by which the standard can  
16 be improved and made more robust, as Dr. Nachtrieb  
17 illustrated. Because in the end we think it's better.  
18 And that slide is perfect even though it doesn't say JA10  
19 on it, because you make a point of stating your  
20 commitment to harmonizing with ENERGY STAR wherever you  
21 can. ENERGY STAR lamps and ENERGY STAR luminaires, both  
22 are referencing NEMA 77.

23           And we have a NEMA dimming compatibility  
24 program now launched, and taking applicants. And  
25 licensing a mark that we developed through a -- including

1 focus groups and all kinds of stuff, consumer research.  
2 And that mark when used by our partners, identifies, on  
3 the box of the dimmer or the box of the bulb. And in so  
4 doing means that they work better together.

5           And those two standards that form the pillars  
6 of that program are NEMA 77 and, as already as referenced  
7 in Title 20 and 24, NEMA SSL 7. And so you've got 7 in  
8 there already. We need 77, so that they form the perfect  
9 777 and we've got good dimming out there.

10           So with that I'll close. Thank you very much.

11           MR. SHIRAKH: Thank you, Alex. We'll be  
12 talking to you.

13           MR. CAIN: Hi. Joe Cain with Solar Energy  
14 Industries Associations. So now we're making the trip  
15 back to JA11 PV. And so we feel there have been some  
16 improvements in here. System orientation, just to jump  
17 right in. We feel that it is a big improvement to expand  
18 the orientation to 90 or 300 degrees. We still have some  
19 member companies that have expressed strong concern that  
20 orientation is there at all. If my understanding is  
21 correct, in the performance approach they're not  
22 necessarily stuck with this; is that correct?

23           MR. SHIRAKH: No, this is for both prescriptive  
24 and performance. And the reason is when we ran the  
25 analysis -- I mean the value drops off significantly past

1 about 310. And it gets even worse when you get into the  
2 northeast orientations. There's very little value and  
3 the timing is off. We're doing our best to harmonize  
4 this with the grid and critical peak. And when you've  
5 got arrays orienting northeast that's problematic in both  
6 grid harmonization and the value it brings to the  
7 building and --

8 MR. CAIN: OK, we'll talk to our members again  
9 about that one. Some would like to see that orientation  
10 restriction go away altogether and just essentially be  
11 guided by a performance approach and the performance of  
12 the system. And later in JA11, there's essentially  
13 performance modeling, where a solar company designed a  
14 system, guarantees a certain level of performance, and  
15 then that is monitored. And the customers have the  
16 visibility to the performance. But again, I  
17 think what you've done is an improvement. And I think  
18 there's some that would wish to go further.

19 Regarding shading criterion, again in 11.3  
20 you've provided the option of 3.1 or 3.2. So in terms of  
21 particular shading obstructions we do have some that  
22 still feel that again it's just essentially a system  
23 design parameter and not necessarily something that  
24 should be this prescriptive. We do understand that you  
25 have the second option, which is just go to the

1 performance method. But we still have some that are  
2 concerned about the level of work needed to do that  
3 shading analysis.

4 MR. SHIRAKH: If I can I comment on that?

5 MR. CAIN: Sure, sure. Please.

6 MR. SHIRAKH: Well, this is as I mentioned up  
7 there, if you're doing prescriptive compliance it must be  
8 shade-free. There cannot be any shade. You've got to  
9 demonstrate that. If you're using performance, using  
10 this simplified approach, it must be shade-free. But if  
11 you have any other kind of shading issues then you've got  
12 to go to the performance shading in detailed approach.  
13 But we need a way of understanding whether there is  
14 shading in there, or not. And that way you can decide  
15 which performance path you want to use and that has to be  
16 done.

17 MR. CAIN: Right, and I understand you're  
18 trying to find that balance. But in terms of our  
19 meetings with member companies, this is still one of the  
20 issue that they continue to bring up.

21 MR. SHIRAKH: Sure.

22 MR. CAIN: So perhaps we could discuss that  
23 some more. Solar access verification is one that again  
24 it brings a strong reaction from the solar companies, our  
25 member companies that we work with. And I had mentioned

1 earlier that it's viewed as essentially a stopping point.  
2 And not only a stopping point in the process and the  
3 installation process, but also of a limited value, or  
4 maybe no value added, just based on the fact that the  
5 performance of the system will be guaranteed and the  
6 performance of the system will be monitored. And that's  
7 under your system monitoring requirement, JA11.5, which  
8 we feel you've improved.

9           So again, still some grumblings from the solar  
10 folks. The interconnection requirements, the only  
11 comment that we have on that is that specifically stating  
12 Rule 21 raises the question about the municipal utilities  
13 and how are the munies -- if this is a requirement, how  
14 will the munies -- how will this relate to the munies?  
15 We just don't know yet.

16           And then just generally speaking, back to JA12  
17 we continue to hear again the compliance credit question  
18 come up over and over, in testimony. And so we can keep  
19 talking about that. But one thing I just do want to  
20 point out is that in terms of the compliance credit and  
21 in terms of this mesh between efficiency and renewables  
22 and the mutual benefit of them I mean we've seen, in the  
23 state of Hawaii, they are 100 percent supportive of  
24 storage right now. They want more storage. I work with  
25 the state of Hawaii quite a bit.

1           We've also, throughout the history of the  
2 California Energy Commission, what we've seen is as  
3 products become attractive and they're benefits outweigh  
4 their costs, is that we allow them to have a compliance  
5 option. And the compliance option means that consultants  
6 specify those. It means that more are specified, more  
7 are installed, more are manufactured. And that leads to  
8 economies of scale. And that's pretty much throughout  
9 the history of the Commission.

10           So the compliance credit for storage, paired  
11 with PV and of course we'd like to see the compliance  
12 credit for PV larger than the minimum install, is  
13 entirely consistent with the history of the California  
14 Energy Commission. Thank you.

15           MR. BOZORGCHAMI: Ron, do we have anybody  
16 online?

17           MR. BALNEG: Yeah we have a few online.  
18           Laura Gray, are you there?

19           MS. GRAY: Yes, I'm here.

20           MR. BALNEG: Okay. You may present your  
21 comment or questions.

22           MS. GRAY: Great. This is Laura Gray from the  
23 California Solar Energy Industries Association. And in  
24 general, I wanted to comment that we strongly support the  
25 solar plus storage EDR compliance pathway. The addition

1 of storage can offset both regulated and unregulated  
2 loads and is going to be a huge resource as we continue  
3 to fuel switch and add EVs to the grid. So we thank the  
4 Commission for the forward looking EDR pathway and all  
5 the work that's gone into these documents and the  
6 improvement from earlier drafts.

7           So I have a couple of specific comments on  
8 JA12. So as JA12 acknowledges, storage has the ability  
9 to respond really dynamically to grid needs and demand  
10 response signals. And we agree storage should be capable  
11 of responding to these calls, but DR might look pretty  
12 different in the near future. So I would say that the  
13 ADR requirement that's reference in JA12 and defined in  
14 Section 110.12, is a little too restrictive. Even with  
15 DR the utilities haven't established that this is the  
16 sole communication standard. So we'd like to see a  
17 little more flexibility in communication standards to  
18 ensure storage can participate in different types of DR  
19 or different types of grid signals.

20           And we definitely agree with a previous  
21 commenter that the mention that every control strategy  
22 should allow for multiple use. The prime example being  
23 storage permitted to respond to a DR signal during a TOU  
24 or a basic control strategy.

25           And then similarly, we believe more flexibility

1 is needed in setting the timing requirements. Customers  
2 should have more flexibility in using storage as long as  
3 the storage is programmed under one of the outlined  
4 control strategies or can ensure grid benefit.

5           And then, lastly, the 5 kWh requirement might  
6 be too large in certain situations. Smaller batteries  
7 could provide significant grid benefit in relation to  
8 building load or how the storage is operated. So a small  
9 energy efficient house might not require a large battery  
10 to shift its load or respond to grid signals.

11           And I'm happy to provide these comments in  
12 written form as well. Thanks.

13           MR. SHIRAKH: Please do give them to us in  
14 writing. I'd really appreciate it. Thank you.

15           MR. BALNEG: Okay. We have Phil Undercuffler.  
16 Phil, are you there?

17           MR. UNDERCUFFLER: Yes. Thank you for the  
18 opportunity. This is Phil Undercuffler, with Outback  
19 Power. We're an inverter manufacturer focused on  
20 integrating energy storage and solar. And we're going  
21 to speak in support of adding energy storage. It's we  
22 believe a powerful tool to integrate PV and shape both  
23 load and generation. And we want to thank the Commission  
24 for all the hard work in developing the energy storage  
25 option.

1           That being said though we think the JA12  
2 control options could use some improvement. And we might  
3 be trying to or attempting to legislate specific  
4 operational details, which might be better left a little  
5 more flexible and responsive to changing conditions and  
6 pricing signals.

7           As an example, the TOU control could be read to  
8 imply that only charging that's allowed is from grid only  
9 during non-peak hours and that solar charging is not  
10 allowed. I know that's not what you meant to write, but  
11 that's how the words can be interpreted now. The basic  
12 control states the battery can only charge when the PV  
13 production is greater than load, and that it must  
14 discharge any time the PV production is less than the  
15 load. That's not allowed to use the storage to hold onto  
16 when it's most needed or valuable, which may be a little  
17 later in the day. And that's regardless of what's  
18 required for the battery health.

19           And because there's no defined performance  
20 objective, it means that you could easily game that. I  
21 could discharge 1 watt of power. I would be discharging,  
22 but not really meeting the intent. This is where I think  
23 that the work that is being done in other venues to  
24 create more clear pricing signals for solar and solar  
25 plus storage, could really be leveraged. And because

1 those are more responsive to changing conditions the  
2 rates should really drive the operation, rather than  
3 trying to legislate them into what will effectively be  
4 the rules for the life of this system.

5           Similarly, the quarterly reset that's written  
6 in there can be problematic as it would effectively  
7 override any profiles that might be selected under any  
8 future improvements. If there were new applications,  
9 well these rules would say that I would force the  
10 inverter to reset to whatever the factory default was on  
11 a quarterly basis.

12           I would suggest, rather than a reset why not  
13 have language saying that the energy management  
14 functionality should simple not be allowed to be  
15 disabled. That way it's always in an energy management  
16 profile, always operating to achieve the goals.

17           As mentioned by others the communications, the  
18 options should be broadened or at least aligned with the  
19 other work being done in California for Rule 21, Step 2,  
20 smart inverter profiles. It's important to understand  
21 even though all of this says the communication to the  
22 storage, it's actually the inverter that you are doing  
23 the communications with. These are really energy storage  
24 systems. The inverter is the device that's actually  
25 providing the energy management, the storage is just a

1 bucket. So there are requirements for standardization of  
2 inverter communication, smart inverter communications.  
3 It would really be great if we could use that throughout  
4 the state of California for all of the energy and  
5 inverter control communications, not having multiple  
6 parallel or conflicting paths.

7           Finally, the safety requirements that are  
8 specified would disallow any battery technology that  
9 didn't require a battery management system. As  
10 currently, you require certification to UL 1973, but you  
11 don't mention or give provisions for the other  
12 corresponding equivalent UL standards for other battery  
13 technologies that are perfectly safe and recognized and  
14 should be an allowable option. Thank you.

15           MR. SHIRAKH: So I really tried hard to take  
16 notes on everything you said. I have communicated with  
17 you before, but could you be kind enough to put this in  
18 writing and send it to me?

19           MR. UNDERCUFFLER: Absolutely.

20           MR. SHIRAKH: Thank you.

21           MR. BALNEG: We have Jim Gaines.

22           Jim Gains are you on the line? Jim?

23           MR. GAINES: Can you hear me okay?

24           MR. BALNEG: Okay. I can hear you, sorry about  
25 that.

1 MR. GAINES: Oh. You do hear me?

2 MR. BALNEG: Yes. You can go ahead now.

3 MR. GAINES: Okay. Sorry, sorry. I work for  
4 Philips, name Jim Gaines for the intro part.

5 I want to support putting NEMA 77 back into  
6 Title 24, JA10. It sounds like the reasons for taking it  
7 out are basically a technicality that it can be  
8 considered backsliding. And I find that kind of strange  
9 since the lower frequency region of the Title 24 spec is  
10 a very obviously flickering region that accedes the  
11 seizure limits even. So it seems odd to exclude the  
12 standard when one part of it is less strict and another  
13 part is much more strict and much more visibly a problem.

14 If you look back at the CEC documentation that  
15 originally lead to the 2016 version of Title 24 there  
16 were two documents cited supporting the 30 percent limit.  
17 But neither one of those scientific papers actually  
18 yields a limit of 30 percent. A limit of SVM 1.6  
19 actually would exclude both of those conditions that led  
20 to observation of some headaches and some performance.

21 I would encourage the CEC to look carefully at  
22 their reasons for excluding or including NEMA 77 and not  
23 make the decision just based on a technicality. Thank  
24 you.

25 MR. BALNEG: Thank you.

1           And we have one more. Chris Primous, are you  
2 on the line? Chris?

3           MR. PRIMOUS: Yes, I'm here. Can you hear me?

4           MR. BALNEG: Yes, we can. Go ahead.

5           MR. PRIMOUS: Okay. So just a couple of  
6 things, a couple of comments, Chris Primous from MaxLite.  
7 I understand and appreciate the changes to allow grid  
8 design in the market and everything for lumen maintenance  
9 and light testing. Those are one of the big pain points  
10 for us in just trying to get a JA8 product. But one of  
11 the things I would just caution the Commission on, with  
12 regards to the language, in using the words ENERGY STAR  
13 be very specific about which ENERGY STAR specification  
14 you're referring to, whether it'd be ENERGY STAR lamps or  
15 ENERGY STAR luminaires. A couple of them are aligned to  
16 light force with regards to lamps themselves. Of course,  
17 in ENERGY STAR lamps, light engine specifications are  
18 actually called out in ENERGY STAR luminaire spec. So it  
19 would just be sure to be clear to be about that when  
20 you're writing about (indiscernible). It's in a couple  
21 of places in JA8 it doesn't really call out specifically  
22 which ENERGY STAR is being referred to.

23           Secondly, you have something -- okay. Secondly  
24 was the JA8.5 in the marking. I see that the  
25 requirements for some smaller lamps have been taken out.

1 Before, there were some exemptions for smaller diameter  
2 lamps to not have to include the markings.

3           One of the most popular new products that have  
4 been issued to the market is a filament lamp,  
5 specifically filament candles. Now we've come to a  
6 technological advancement with these LED products where  
7 we're able to eliminate bases and we have nice beautiful  
8 clear glass candle lamps, which are some of the newer JA8  
9 products that are available on the market.

10           And one of the complaints I've heard just  
11 recently is that we don't have it bases anymore, so we  
12 have to put all of the markings directly onto the glass.  
13 And some customers do not like having all these markings  
14 on these nice beautiful clear glass products. So we have  
15 to put things like safety listings, date codes, usage  
16 markings, sometimes in multiple language, test points,  
17 branding logos, etcetera. And this is just eight more  
18 characters that we now have to add to these and we would  
19 certainly like to not have to do that on some of these  
20 products.

21           Thirdly, and lastly I'd like to just lend  
22 support back a couple of comments that were already made  
23 about the flicker metrics and going back to including  
24 NEMA 77. And we do support that action. That's all I  
25 have today. Thank you

1 MR. BOZORGCHAMI: Thank you.

2 Any more comments?

3 MR. BALNEG: That's it.

4 MR. BOZORGCHAMI: Joe, one more?

5 MR. CAIN: Yes, Joe Cain with the Solar Energy  
6 Industries Association. But this is not about solar and  
7 it's not about SEIA.

8 I just have to say that every time, these days  
9 in our political climate, every time I hear ENERGY STAR  
10 what pops into my head is if the funding of the DOE is  
11 uncertain in the future. And the staffing level of the  
12 DOE is uncertain in the future and likewise for the EPA,  
13 every time I hear the word ENERGY STAR I wonder whether  
14 ENERGY STAR will still exist two years from now.

15 And I just wonder whether, as much as ENERGY  
16 STAR is embedded in the codes and the standards, is there  
17 a contingency plan for in the event that something bad  
18 happens? Or are we dependent on something that is  
19 uncertain?

20 MR. STRAIT: So, even in the case that the  
21 ENERGY STAR goes away of that the DOE or EPA programs  
22 have something happen to them in that respect, these  
23 reference specific documents that are final published  
24 products that exist that people downloaded that we have  
25 copies of. So in a sense we're not so much referencing

1 the program as we are referencing the document. And  
2 we're doing so to make sure that our code is aligned.

3 But if that program were to be ended, for  
4 whatever reason, that document would still exist and we  
5 would be able to provide public access to that document  
6 and people would still be able to use it.

7 MR. CAIN: Okay. And so are you tracking the  
8 criteria that goes along with that in addition to just  
9 the names, the standards, the numbers? I guess that's my  
10 thing, is the unknown. Looking at the uncertainties, I  
11 just want to know that there's some form of belt and  
12 suspenders approach in place.

13 MR. STRAIT: Absolutely. If there was a change  
14 to either of the standards, we would look very closely  
15 and see if it was appropriate to update our reference to  
16 the latest version.

17 This seemed to be appropriate to be more about  
18 giving some flexibility just in recognition of the  
19 different technologies evolved in generating light. But  
20 it didn't represent any significant backsliding in what  
21 was required for products being tested to the use of  
22 lumen maintenance standards. But yes, we would look very  
23 closely at that.

24 MR. CAIN: Thank you.

25 COMMISSIONER MCALLISTER: I'll just say, very

1 broadly. If the question is, is EPA, ENERGY STAR, if the  
2 federal government withdraws support and funding for the  
3 EPA and it has no other home like migrating over to DOE,  
4 or something my read, having worked with all of the other  
5 state energy offices and kind of understanding a little  
6 bit about that dynamic in D.C., I think that's highly,  
7 highly unlikely.

8           But many, many states and industry members like  
9 many of your members and others, certainly NEMA members,  
10 lots of manufacturers of electrical products depend on  
11 ENERGY STAR. And so there is a -- it's embedded much  
12 more deeply than just support at the Federal  
13 Administration. So I'm pretty confident that something  
14 would be worked out. I don't want to make that a self-  
15 fulfilling prophecy and like get too far down the  
16 planning horizon, because I don't think that's necessary.  
17 But I'm pretty confident that ENERGY STAR is going to be  
18 around in a similar form to the way it is not for quite a  
19 while.

20           MR. STRAIT: Actually, I should provide one  
21 clarification. We actually have that level of  
22 contingency planning for all of the documents we  
23 incorporate by reference. We don't assume that ASTM or  
24 ASHRAE are going to go out of business any time soon or  
25 that their organizations or documents are going to

1 evaporate, but in theory we have to consider that for  
2 everything we adopt. That all these standards and  
3 documents are going to continue to exist and continue to  
4 be available to the public. And what we do, if for  
5 whatever reason, something makes them unavailable. So in  
6 that sense this is not out of the ordinary.

7 MR. BOZORGCHAMI: Okay. So with that, we're  
8 going to transition into the Residential Appendices. So  
9 Jeff Miller is going to start us out.

10 MR. MILLER: There are presently four  
11 residential appendices. RA1 contains alternative field  
12 verification protocols that are not expected to be  
13 available or applicable for verification for most  
14 projects.

15 RA2 contains documentation procedures that HERS  
16 raters are required to follow for each project.

17 RA3 contains the field verification and testing  
18 protocols used for verifying that installations comply  
19 with the standards.

20 RA4 contains eligibility criteria for certain  
21 efficiency measures installed to achieve compliance to  
22 the standards.

23 There are no changes proposed for RA1. Changes  
24 to RA2, RA3 and RA4 will be described in the following  
25 slides.

1           Table RA-2-1, which provides a summary of all  
2 available HERS verifications has been updated to reflect  
3 the HERS protocols that have been added or removed from  
4 appendix RA3. The rated heat pump capacity verification  
5 has been added to RA3.4.4.2. Maximum rated cooling  
6 capacity compliance credit verification is no longer  
7 available for compliance credit and has been removed.  
8 The whole house fan verification is a new protocol that  
9 has been added to RA3.9. Central fan ventilation cooling  
10 system verification is added to RA3.3.4. QII is now a  
11 prescriptive requirement. It was a compliance credit.  
12 Verification protocol is located in the RA3.5. Verified  
13 point-of-use verification for domestic hot water systems  
14 is removed. And drain water heat recovery installation  
15 criteria is added.

16           Sections of RA2.4.3 and RA2.7 provide updated  
17 and clarified specifications and procedures for third-  
18 party quality control programs. The information in these  
19 sections is organized into categories. And clarifying  
20 details are added in each category. There is a new  
21 requirement to automatically confirm the location of the  
22 system undergoing testing, using electronic tracking  
23 means, such global positioning satellite technology, if  
24 it's available.

25           The RA3.3.4 verification of central fan

1 ventilation cooling systems determines the system air  
2 flow rate and measures the air handling unit watt draw  
3 that calculates the fan efficacy at two operating speeds.  
4 At high fan speed, or for cooling speed, as required for  
5 compliance with the standards in Section 150.0(m)13. And  
6 at the speed used for ventilation cooling, as specified  
7 on the Certificate of Compliance for the central  
8 ventilation cooling system. The measured fan efficacy,  
9 that's watts per CFM, must comply at both the high fan  
10 speed and at the ventilation fan speed when proposed by  
11 the user.

12           The rated heat pump capacity verification is  
13 similar to the verification for higher SEER EER and HSPF.  
14 The manufacturer name and model is used to look up the  
15 rating information from the matched indoor and outdoor  
16 combination, or package unit. And verify the system is  
17 rated to provide the heating capacity that is equal than  
18 or great to the values proposed on the performance  
19 Certificate of Compliance.

20           RA3.5 is updated, added a few new definitions,  
21 made changes to provide clarity and consistency, reduce  
22 redundancy and improve readability, inserted new language  
23 for verification of insulation installed below the roof  
24 deck.

25           MR. TAM: Hi. RA3.6.5 is the HERS Verified

1 Compact Hot Water Distribution Credit. The requirement  
2 for this credit has been substantially changed with the  
3 goal of making it simpler and more attractive option for  
4 builders to take. So the changes reflect that and we  
5 also renamed the credit to expand the credit.

6 And RA30.6.9 is a brand new section that  
7 describes a requirement for HERS verified during water  
8 heat recovery system. And it describes the requirement  
9 for this credit, such as minimum effectiveness and the  
10 need to certify to the Commission for these systems.

11 MR. MILLER: The kitchen range hood  
12 verification requires use of the manufacturer name and  
13 model number from the installed unit to locate the HVI  
14 rating information, then to confirm the unit is rated HVI  
15 according to the requirements in standards Section  
16 150.0(o), which references ASHRAE 62.2 requirements. And  
17 that's 100 CFM minimum air flow rate and 3 sone or less  
18 at 0.1 inches of water column.

19 RA3.8, fuel verification and diagnostic testing  
20 of air leakage of building enclosures and dwelling unit  
21 enclosures, has been updated to reference the current  
22 version of RESNET Standard 380. The options for the  
23 measurement method has been limited to only the 1.0 test  
24 or the single point test method, which is also referred  
25 to as the single point test. And use of the metric, the

1 CFM 50 per square foot of dwelling unit enclosure area  
2 has been added for use when multifamily dwelling unit  
3 enclosure leakage measurement is required for determining  
4 compliance with indoor air quality requirements. The  
5 ACH50 metric will continue to be used for reporting  
6 leakage for single family dwellings, for building energy  
7 compliance.

8 RA3.9 field verification and diagnostic testing  
9 of whole house fans, is a new protocol applicable only to  
10 the performance compliance approach. HERS verification  
11 of whole house fans is not required for prescriptive  
12 compliance.

13 The protocol measures the air flow rate and fan  
14 watt draw to determine fan efficacy, that's watt per CFM.  
15 The air flow may be measured using one of three methods.  
16 A pressure matching technique used with a blower door fan  
17 flow meter designed to measure air flow rates equal to or  
18 greater than the whole house fan air flow. A powered  
19 flow capture hood that is designed to measure air flow  
20 rates equal to or greater than the whole house fan air  
21 flow. And a traditional flow capture hood that is  
22 designed to measure air flow rates equal to or greater  
23 than the whole house fan air flow.

24 We plan to make a minor change for the 15-day  
25 language to a specification for the whole house setup,

1 for the pressure matching measurement, made with a blower  
2 door. So a change it will make will be that the window  
3 opening setup for the test will be required to be the  
4 same for both the whole house fan air flow pressure part  
5 of the pressure matching technique and also for the  
6 blower door pressure and air flow measurements. And thus  
7 measurements will be made with the whole house fan  
8 dampers closed or covered. And this will attribute the  
9 same amount of enclosure leakage to both of the pressure  
10 measurements. And should refer to the protocol for  
11 additional information.

12 MR. TAM: Okay. RA4.4, the 4.4.3 section is  
13 deleted. It's the pipe insulation credit, because it's  
14 now a mandatory requirement in the plumbing code. Just a  
15 note, there's still a credit for pipe insulation if you  
16 have a HERS rater verify it.

17 RA4.4.6 is a new section. It's the compact hot  
18 water distribution. This is the basic credit that  
19 doesn't require a HERS rater. And similarly, 4.4.16,  
20 it's nearly the exact same section from RA3.6. This is  
21 the expanded credit for a compact hot water distribution.  
22 And RA4.4.20, we added IAPMO R&T as a listing agency to  
23 the hot water systems.

24 And RA4.4.21, is the new section. It's the  
25 sister section to RA3.6. It describes the requirement

1 for drain water heat recovery systems.

2 And that's it for the RAs.

3 MR. BOZORGCHAMI: All right. Comments,  
4 questions?

5 (Off mic colloquy.)

6 MR. ROSE: Okay. Can you hear me? Okay. This  
7 is John Rose with the Home Ventilating Institute again.  
8 RA3, talking about the kitchen range hoods and the air  
9 flow and sound requirements. It describes the threshold,  
10 but the slide showed at 0.1 inch static pressure. That's  
11 not in the draft, so I just wanted to clarify that and  
12 say that if we were trying to be more descriptive there,  
13 it would be more applicable to list the sound rating at  
14 the specified air flow rather than at a static pressure.

15 MR. BOZORGCHAMI: Okay.

16 MR. NESBITT: George Nesbitt, HERS Rater. The  
17 one real comment on the Residential Appendices is they're  
18 really the HERS Appendices. And they contain a lot of  
19 information about HERS, HERS registries, data and all  
20 that stuff, third-party quality controls, programs. And  
21 then a lot of that is repeated in the Non-Res Appendices.  
22 It just seems that we should not be saying the exact same  
23 thing in multiple places, because there's always the  
24 chance you say something different. It's a waste of  
25 paper, electrons, so on and so forth.

1                   How much of it is actually duplicative of  
2 what's in Title 20, in the HERS regulations where the  
3 providers and HERS raters and registries are certainly  
4 specified? How much of that actually really belongs in  
5 Title 20, versus in Title 24, I'm not sure. Certainly a  
6 good explanation of the program and the process is  
7 needed, but I'm not sure if this goes into too much  
8 detail. Thanks.

9                   MR. BOZORGCHAMI: Thank you.

10                   Anybody else?

11                   MS. RODDA: Gina Rodda from Gabel Energy. I  
12 almost feel like I'm bringing up the elephant in the  
13 room, but I'm a little concerned with contractors being  
14 successful with QII without a lot of guidance, which I'm  
15 hoping will happen in the manual.

16                   MR. BOZORGCHAMI: Any other comments? If not,  
17 we've got one more presentation then we're done for the  
18 day.

19                   Todd, do you want to give us a quick update on  
20 the ACM?

21                   MR. FERRIS: Hello. I'm Todd Ferris. I'm  
22 Supervisor of the Software Tools Unit. Thank you, Mikie.  
23 I'm here to talk about the minor changes that we're doing  
24 to the ACM Approval Manual.

25                   We've added a new Section 1.1.5, to basically

1 clarify that the Commission would consider additional  
2 nonresidential energy simulation engines if they would  
3 pass the ASHRAE 140 test. So that's really has to do  
4 with third-party vendor tools, if they didn't want to use  
5 EnergyPlus for nonresidential, we'd consider other tools

6           And then we had some minor changes to the  
7 language for clarification in Section 1.3.1 and 1.3.2,  
8 just to clarify what we meant by minor software updates  
9 and major software updates.

10           And then the last thing is in Chapter 2 there  
11 was some clarification language. And other than that,  
12 the ACM Approval Manual is pretty similar to what you saw  
13 in 2016.

14           MR. BOZORGCHAMI: That's it. Is there any  
15 comments or concerns on anything that you heard today?  
16 What Todd presented?

17           Fine then, Emily?

18           (Off mic colloquy.)

19           MR. BOZORGCHAMI: Peter is going to do the blue  
20 cards.

21           MR. STRAIT: So folks that have submitted blue  
22 cards, if you haven't already gotten up to speak when it  
23 was on the a particular section, honestly anyone on the  
24 floor can get up and make their comments now. Most of  
25 the folks that did submit blue cards actually did get up.

1 For example, Alex Boesenberg and -- gee, I'm bad with  
2 names -- anyway most of the people I remember getting a  
3 blue card from have already spoken at the podium.

4 MR. ROSE: This is John Rose with HVI again. I  
5 just had one more comment. It was brought up earlier  
6 with the ASHRAE 62.2 labeling requirements. There was  
7 some question about how that dwelling unit ventilation  
8 control should be labeled. And HVI has undertaken  
9 developing such a label, kind of an icon-based thing.  
10 And we'll be promoting that soon. I'm getting in touch  
11 with CEC and possibly that could be worked into the  
12 compliance manual or something. Anyway, thank you.

13 COMMISSIONER MCALLISTER: Great.

14 Let's go through the blue cards just in case,  
15 see if anybody who has spoken wants to say something  
16 else.

17 MR. BOZORGCHAMI: Sure. I have them right  
18 here. Richard Haring? Oh, Emily, go ahead. I'm sorry,  
19 Emily Withers.

20 COMMISSIONER MCALLISTER: Let's do the line  
21 first and then we'll check the blue cards. Yeah. People  
22 in the room have priority.

23 MS. WITHERS: Okay. I do have a blue card  
24 submitted.

25 Mr. Commissioners, energy efficiency experts of

1 the Energy Commission, my name is Emily Withers. I'm  
2 Codes and Standards Administrator II for the Department  
3 of Housing and Community Development. HCD thanks the  
4 Energy Commission for our ongoing dialogue and  
5 preliminary assistance with coordination of building  
6 standards within the many parts of Title 24 California  
7 Building Standards Code.

8 HCD's goal is to ensure that building standards  
9 provide safe, durable and healthy homes, but also to be  
10 cognizant of the increasing costs of housing and  
11 associated decrease in affordable housing. For these  
12 reasons HCD may question proposed building standards that  
13 may appear to be not cost effective or may result in  
14 conflicts within the codes, resulting in confusion in  
15 interpretation or enforcement.

16 We thank the CEC for the opportunity to comment  
17 and will be submitting a written comment later on these  
18 technical issues. We look forward to working with the  
19 CEC further. Thank you.

20 COMMISSIONER MCALLISTER: Thanks very much.  
21 And also thanks to the HCD for collaboration on CALGreen,  
22 which we're not talking about today, but that's a big  
23 part of our future as well. So thanks.

24 MR. BOZORGCHAMI: So next we have Julia Levin  
25 with the Bioenergy Association of California. No? Okay.

1           Jed Gibson with AWEA California. No?

2           John Rose, did you want to -- you're done?

3 Okay. Good.

4           And Richard Haring, Philips Lighting.

5           MR. HARING: No.

6           MR. BOZORGCHAMI: I think he already spoke too,

7 so I think we're good, sir.

8           COMMISSIONER MCALLISTER: Okay, great.

9           MR. BOZORGCHAMI: With that, I think this  
10 brings us to the end. I would really, really appreciate  
11 it if you folks could submit your comments sooner than  
12 later. The sooner we get those comments, the easier and  
13 the faster we could start a dialogue with you folks and  
14 get the proper standards out.

15           Again, just give me one second.

16           So I thank you and I'm hoping that we -- we're  
17 hoping that I could get your comments hopefully by  
18 February 20th, the day after Presidents Day? You'll get  
19 a long --

20           COMMISSIONER MCALLISTER: A long weekend to  
21 work on them?

22           MR. BOZORGCHAMI: Yeah, yeah. You all have  
23 three days to work on this. There's no snow up there,  
24 so.

25           Go ahead.

1           MR. STRAIT: I'd like to reiterate that, that  
2 gives us a little bit of time to review your comments.  
3 If we have any questions, we can have an interaction with  
4 you before the close or the comment period cuts us off,  
5 so yeah please. And again, from my perspective as  
6 Supervisor I'm glad the staff was able to put this  
7 together and that you're are able to participate. So  
8 thank you all for coming.

9           COMMISSIONER MCALLISTER: I want to actually  
10 just wrap up really quickly. So and I want to thank --  
11 first of all, I want to thank staff and I'll just  
12 everybody who made presentations Michael, Mazi, Peter,  
13 Jeff, Danny, Todd, Bill and also Bill and Payam for  
14 running the show, Christopher for managing the office.

15           I will just point out we need a little gender  
16 diversity on this team, okay guys? So Martha is right  
17 back there, my Adviser. Martha is right back there, so  
18 raise your hand and you're the token today, but hopefully  
19 we can make progress on that front as well in future  
20 codes.

21           But you guys do a great job and actually you're  
22 very approachable, so I really appreciate that.

23           (Off mic colloquy.)

24           COMMISSIONER MCALLISTER: So but really it's a  
25 good team and it's a very solid effort. I'm glad of




**REPORTER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 5th day of February, 2018.

---


PETER PETTY  
CER\*\*D-493  
Notary Public

**TRANSCRIBER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 5th day of February, 2018.



---

Myra Severtson  
Certified Transcriber  
AAERT No. CET\*\*D-852