

**DOCKETED**

<b>Docket Number:</b>	18-BUSMTG-01
<b>Project Title:</b>	2018 Business Meeting Transcripts
<b>TN #:</b>	223490
<b>Document Title:</b>	Transcript of May 9, 2018 Business Meeting
<b>Description:</b>	N/A
<b>Filer:</b>	Cody Goldthrite
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	5/21/2018 2:17:30 PM
<b>Docketed Date:</b>	5/21/2018



APPEARANCES

Commissioners

Robert Weisenmiller, Chair  
Karen Douglas  
Janea Scott  
David Hochschild  
Andrew McAllister

Staff Present: (\* Via WebEx)

Drew Bohan, Executive Director  
Kourtney Vaccaro, Chief Counsel  
Allan Ward, Assistant Chief Counsel  
Alana Mathews, Public Adviser  
Dorothy Murimi, Public Adviser's Office  
Cody Goldthrite, Secretariat

	Agenda Item
Payam Bozorgchami	2
Maziar Shirakh	2
Peter Strait	2
Matt Chalmers	2
Christopher Meyer	2, 14
Joe Loyer	3, 4
Laurie ten Hope	5
Virginia Lew	5
Shaun Ransom	6
Jacob Orenberg	7
Tomas Ortiz	8
Tami Haas	9
Matthew Ong	10
Sam Lerman	11
Sarah Williams	12
Sharon Purewal	13
Gavin Situ	15
Katharina Snyder	16
Peter Chen	17
Michael Lozano	18
Angela Gould	19
James Friedrich	20
Joe O'Hagan	21

APPEARANCES (Cont.)

	Agenda Item
Kevin Mori	22
David Erne	23
Jamie Patterson	24
Terra Weeks	25
Michael Sokol	26

Others Present (\* Via WebEx)

Interested Parties

Gregory Partch, California State Pipe Trades Council CSPTC	3
Lori Schiavo, RSES Journal	4
Tim Flanagan, Cornerstone Environmental Group	8
*Dr. Yaniv Scherson, Anaheim Energy, LLC	8
*Leticia Barajas, Los Angeles Trade Tech College	9
Richard D. Cameron, Port of Long Beach	11, 13
Jacob Goldberg, Port of Los Angeles	11
Kathleen Smiley Hughes, Silicon Valley Power	13
*Mark Conrad, LBNL`	16
*James Hansell, Navigant Consulting	19
*George Papen, UC San Diego	22
*Renee Yarmy, San Diego Unified Port District	23
*Shawn Matejcek, City of Fontana	23
Grant Mack, California Public Utilities Commission CPUC	24

Public Comment (\* Via WebEx)

Zoe Zhang, California Air Resources Board	2
Diana Scaturro, Office of Statewide Health Planning and Development, OSHPD	2
Robert Raymer, California Building Industry Association, CBIA	2
Megan Cordes, ConSol	2
Michelle Thomas, Southern California Edison, SCE	2
Rick Umoff, Solar Energy Industries Association	2
Kevin Messner, AHAM	2

APPEARANCES (Cont.)

Public Comment (\* Via WebEx)

Pierre Delforge, NRDC	2
Brian Selby, California Association of Building Energy Consultants, CABEC	2
Thomas L. Sheehy, Air Conditioning, Heating and Refrigeration Institute, AHRI	2
Helmut Gehle, Sunrun	2
Kelly Cunningham, PG&E on behalf of California Statewide Utility Codes and Standards Team	2
Francesca Wahl, Tesla	2
Tim Carmichael, San Diego Gas & Electric, SDG&E	2
Steve Dubin, Rmax Inc.	2
Bruce Severance, Mistubishi Electric US, Inc.	2
Zadie Oleksiw, Vote Solar	2
Nancy Nelson, Self	2
Eileen Tovar, Environment California	2
Kelly Knutsen, CA Solar & Storage Association	2
Shawn D. Intagliata, Cobalt Creed/Unico, Inc.	2
Charles Cottrell, North American Insulation Manufacturers, NAIMA	2
*Collin Tateishi, CA Housing Partnership	2
*Edward Moreno, Sierra Club	2
*Shawn Mullins, Owens Corning	2
*Peter Esposito, Self	2
Maddie Dunlap, West Coast Advisors-Ag Energy Consumers Assoc./CA Poultry Federation	5
Rob Neenan, California Food Producers	5
Tom Bower, Foster Farms	5
Todd O'Connor, CLEAResult	5
Sam Wade, California Air Resources Board, CARB	7
Bonnie Holmes-Gen, American Lung Association	7, 13
Eileen Wenger Tutt, California Electric Transportation Commission	7
Tyson Eckerle, ZEV Infrastructure, California Governor's Office of Business & Economic Development	7
Bill Elrick, California Fuel Cell Partnership	7
*Vicki White, South Coast Air Quality Management District, SCAQMD	7
*Brian Goldstein, Energy Independence Now	7
Tony Brunello, Gridworks	32

I N D E X

	Page
Proceedings	11
Items	
1. CONSENT CALENDAR	11
a. VICTORVILLE 2 HYBRID POWER PROJECT (07-AFC-01C)	
b. AMERICAN COUNCIL FOR AN ENERGY-EFFICIENT ECONOMY	
c. MODESTO IRRIGATION DISTRICT	
d. SOUTHERN CALIFORNIA PUBLIC POWER AUTHORITY	
e. TURLOCK IRRIGATION DISTRICT	
2. 2019 BUILDING ENERGY EFFICIENCY STANDARDS	12
a. NEGATIVE DECLARATION	
b. 2019 UPDATE TO BUILDING ENERGY EFFICIENCY STANDARDS	
3. APPROVAL OF THE CALIFORNIA STATE PIPE TRADES COUNCIL	105
4. APPROVAL OF THE REFRIGERATION SERVICE ENGINEERS SOCIETY	108
5. FOOD PRODUCTION INVESTMENT PROGRAM	88
6. UPDATE TO THE ALTERNATIVE AND RENEWABLE FUEL AND VEHICLE TECHNOLOGY PROGRAM'S (ARFVTP) ONLINE PROJECT SHOWCASE	111

I N D E X (Cont.)

7.	2018-2019 INVESTMENT PLAN UPDATE FOR THE ARFVTP	116
8.	COMMUNITY-SCALE AND COMMERCIAL-SCALE ADVANCED BIOFUELS PRODUCTION FACILITIES, GFO-15-606	140
	a. ANAHEIM ENERGY, LLC	
	i. CALIFORNIA ENVIRONMENTAL QUALITY ACT FINDINGS	
	ii. ANAHEIM ENERGY LLC'S BIOENERGY FACILITY PROJECT	
	b. MONTEREY REGIONAL WASTE MANAGEMENT DISTRICT	
9.	LOS ANGELES TRADE TECHNICAL COLLEGE	146
10.	UNIVERSITY OF CALIFORNIA, IRVINE	150
11.	ADVANCED FREIGHT VEHICLE INFRASTRUCTURE DEPLOYMENT, GFO-17603	152
	a. CITY OF LONG BEACH HARBOR DEPARTMENT	
	b. CITY OF LOS ANGELES HARBOR DEPARTMENT	
12.	CALIFORNIA AIR DISTRICT NATURAL GAS VEHICLES SOLICITATION, GFO17-605.	157
	a. SOUTH COAST AIR QUALITY MANAGEMENT DISTRICT	
	b. SAN JOAQUIN VALLEY UNIFIED AIR POLLUTION CONTROL DISTRICT	

I N D E X (Cont.)

13.	ELECTRIC VEHICLE READY COMMUNITIES CHALLENGE PHASE I - BLUEPRINT PLAN DEVELOPMENT, GFO-17-604	159
a.	TIERRA RESOURCE CONSULTANTS, LLC	
b.	CITY OF SACRAMENTO	
c.	COUNTY OF LOS ANGELES	
d.	KERN COUNCIL OF GOVERNMENTS	
e.	VENTURA COUNTY REGIONAL ENERGY ALLIANCE	
f.	SAN FRANCISCO DEPARTMENT OF THE ENVIRONMENT	
g.	CITY OF LONG BEACH HARBOR DEPARTMENT	
h.	CITY OF SANTA CLARA	
14.	BRUCE A. WILCOX, P.E.	163
15.	KERN VALLEY HEALTHCARE DISTRICT	165
16.	LAWRENCE BERKELEY NATIONAL LABORATORY	168
17.	EFFICIENT DRIVETRAINS, INC.	170
18.	INSTITUTE OF GAS TECHNOLOGY	173
19.	NAVIGANT CONSULTING, INC.	176
20.	INDUSTRIAL ECONOMICS INCORPORATED	178
21.	ENERGETICS, INC.	180

I N D E X (Cont.)

22.	UNIVERSITY OF CALIFORNIA, SAN DIEGO	182
23.	DEMONSTRATE BUSINESS CASE FOR ADVANCED MICROGRIDS IN SUPPORT OF CALIFORNIA'S ENERGY AND GHG POLICIES, GFO-17-302	184
	a.    SAN DIEGO UNIFIED PORT DISTRICT (PORT OF SAN DIEGO)	
	i.    CALIFORNIA ENVIRONMENTAL QUALITY ACT FINDINGS	
	ii.   TENTH AVENUE MARINE TERMINAL RENEWABLE MICROGRID PROJECT	
	b.    GRIDSCAPE SOLUTIONS, INC.	
24.	DISTRIBUTION SYSTEM MODELING TOOLS TO EVALUATE DISTRIBUTED ENERGY RESOURCES (DER), GFO-17-305	190
	a.    ELECTRIC POWER RESEARCH INSTITUTE, INC.	
	b.    DOE-SLAC NATIONAL ACCELERATOR LABORATORY	
	c.    DOE-SLAC NATIONAL ACCELERATOR LABORATORY	
	d.    HITACHI AMERICA, LTD	
25.	2018 IEPR UPDATE RE: ENERGY EQUITY TOPICS	195
26.	DISCUSSION OF ENERGY COMMISSION PROGRESS RE: IMPLEMENTATION OF THE CLEAN ENERGY AND POLLUTION REDUCTION ACT OF 2015 (SB 350).	208

I N D E X (Cont.)

27.	Minutes	211
28.	Lead Commissioner or Presiding Member Reports	211
29.	Chief Counsel's Report	218
a.	<i>In the Matter of U.S. Department of Energy (High Level Waste Repository) (Atomic Safety Licensing Board, CAB-04, 63-001-HLW); State of California v. United States Department of Energy (9th Cir. Docket No. 09-71014)</i>	
b.	<i>Communities for a Better Environment and Center for Biological Diversity v. Energy Commission (Court of Appeal, First Appellate District, #A141299)</i>	
c.	<i>Energy Commission v. Electricore, Inc. and ZeroTruck (Sacramento County Superior Court #34-2016-00204586)</i>	
d.	<i>Energy Commission v. United States Department of Energy (Federal District Court, Northern District of California, #17-cv-03404)</i>	
e.	<i>City of Los Angeles, acting by and through, its Department of Water and Power v. Energy Commission (Los Angeles Superior Court, Case No. BS171477).</i>	
f.	<i>Energy Commission v. City of San Jose, JUM Global, L.L.C. (Sacramento Superior Court, Case No. 34-2018-00230652).</i>	

I N D E X (Cont.)

29. Chief Counsel's Report (Cont.)	218
Pursuant to Government Code section 11126(e), the Energy Commission may also discuss any judicial or administrative proceeding that was formally initiated after this agenda was published; or determine whether facts and circumstances exist that warrant the initiation of litigation, or that constitute a significant exposure to litigation against the Commission, which might include:	
a. The licensing process for a nuclear waste storage repository at Yucca Mountain, Nevada.	
30. Executive Director's Report	218
31. Public Adviser's Report	218
32. Public Comment	27, 99, 124, 220
Adjournment	221
Reporter's Certificate	222
Transcriber's Certificate	223

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

P R O C E E D I N G S

MAY 9, 2018 10:05 a.m.

CHAIRMAN WEISENMILLER: Okay. So let's start with the Pledge of Allegiance.

(Whereupon, the Pledge of Allegiance was recited in unison.)

CHAIRMAN WEISENMILLER: Good morning. First, I want to remind everyone that we're going to take public comment today on a number of items. To provide public comment file a blue card. We'll first go through those in the room and then we'll go through those on the line. You have three minutes period, to make your comments. Certainly we want to make sure everyone has a chance to be heard.

We're working on getting an overflow room set up, so that it will be more convenient for people. The Public Adviser will probably make an announcement on that.

So with that, let's go to Item 1, the Consent Calendar.

COMMISSIONER DOUGLAS: Move consent.

COMMISSIONER HOCHSCHILD: Second.

CHAIRMAN WEISENMILLER: All those in favor?

(Ayes.)

CHAIRMAN WEISENMILLER: Consent passes 5-0.

1 Thank you.

2 Let's go on to Item 2, State 2019 Building Energy  
3 Efficiency Standards. Staff?

4 (Pause to set up presentation.)

5 MR. BOZORGCHAMI: Good morning Chair Weisenmiller  
6 and Commissioners. My name is Payam Bozorgchami, Project  
7 Manager of the 2019 Building Energy Efficiency Standards.

8 I am here with my colleagues Mazi Shirakh,  
9 Project Manager for the Zero net Energy and Peter Strait,  
10 Supervisor of the Building Standards Unit in the Efficiency  
11 Division, requesting adoptions of the 2019 Building Energy  
12 Efficiency Standards for Residential and Non-residential  
13 Buildings.

14 COMMISSIONER MCALLISTER: Hey, Payam? Could you  
15 put your mic a little bit closer, so it's a little louder?

16 MR. BOZORGCHAMI: Sorry.

17 COMMISSIONER MCALLISTER: There's a lot of people  
18 in the room and I just want to make sure everybody can  
19 hear. Thanks.

20 MR. BOZORGCHAMI: You get to tell me to take it  
21 away, so.

22 Energy Efficiency Standards, Residential and Non-  
23 Residential Buildings, the Reference Appendices, and the  
24 Alternative Calculation Approval Manual.

25 Commissioners, this is a three-part presentation.

12

1 I will be doing the first part, then Mr. Mazi Shirakh will  
2 do the second and Peter Strait will finish the  
3 presentation.

4 So let's get started, other than the Warren-  
5 Alquist Act there are many recent policy drivers for the  
6 Building Standards that really require staff to look at  
7 energy efficiency. These incidents include state policies  
8 on renewable energy, climate change and other long-term  
9 strategic plans.

10 Staff developed the 2019 Standards with the help  
11 of our utility partners and consultants. There were public  
12 meetings held both by the utility team and by staff to  
13 obtain feedback from the public, and recommendations  
14 proposed for the standards.

15 Since September of 2016 there were nine in-person  
16 meetings and ten webinars held by the utilities. And we  
17 had 14 in-person meetings here at the Commission and 2  
18 hearings with Commissioner McAllister's office being  
19 present. Next slide, please?

20 The Life Cycle Cost Analysis was used to  
21 determine the benefits of each measure that we are  
22 proposing, including the cost benefits to the building  
23 owner. The life cycle cost was based on Time Dependent  
24 Valuation or TDV and considered how the value of gas and  
25 electricity changes depending on the seasons and time of

1 day. Next slide, please.

2 So with that in the 2019 Energy Standards Part 1  
3 of the Building Standards Code we made minor editorials  
4 throughout the administrative regulations to clean any  
5 ambiguity. There is a new section on Community Shared  
6 Solar Electric Generation Systems or Community Shared  
7 Battery Storage System compliance option. Mazi will be  
8 presenting that in his section.

9 Into Part 6 of the Efficiency Standards, in  
10 Subchapter 1 being the general provisions we added a new  
11 occupancy group "I" to bring in healthcare facilities for  
12 the first time. The Energy Commission committed to  
13 addressing healthcare facilities in a thoughtful and  
14 measured way adding exceptions as necessary to protect  
15 patient care. Next slide, please.

16 For nonresidential mechanical some of the things  
17 that we did was ventilation, the ventilation rates for  
18 high-rise residential are now based on ASHRAE 62.2. And  
19 the natural ventilation exhaust air rates for  
20 nonresidential and hotel/motel are based ASHRAE 62.1.

21 There are new requirements for HVACs like fault  
22 detection diagnostics, expanding the existing requirements  
23 to all cooling systems more than 4.5 tons, that  
24 incorporates an air economizer.

25 We have a new air filter requirement for covered

1 processes. We have new prescriptive fume hood requirements  
2 for laboratories, which include fume hoods with automatic  
3 sash closures.

4 For demand response, we made cleanup changes to  
5 the demand response language and we added language to allow  
6 cloud-based systems. Next slide, please.

7 For nonresidential lighting the lighting power  
8 allowance for both indoor and outdoor nonresidential space  
9 are now based on LED technologies. In addition new power  
10 adjustment factors have been added to encourage natural  
11 light into buildings, and an allowance has been made for  
12 small aperture tunable white and dim to warm luminaires.

13 For the nonresidential lighting alterations  
14 section we wanted to simplify the code language to enhance  
15 compliance. The three different alteration sections of  
16 2016 will merge into a single altered indoor lighting  
17 system section. We aligned the control requirements of the  
18 two reduced power options, all three options control  
19 requirements' are in the updated table for control  
20 requirements for indoor lighting system alterations. Next  
21 slide, please.

22 For the residential, what we did was we updated  
23 our mandatory measuring requirements. To get a better  
24 envelope assembly constructed we updated measure minimums  
25 for wall systems. We added fan efficacy for new gas

1 furnaces were updated to .45 watts per CFM and we added a  
2 new requirement for small duct high velocity equipment,  
3 because these systems are operating at a different static  
4 pressure than traditional air handlers.

5 Also we ensured proper air flow and ability to  
6 accommodate improved filtrations. We've updated our filter  
7 grill sizing requirements and now require that the air  
8 filter installed for the system be at least at MERV 13.

9 We've updated the version of ASHRAE 62.2 that  
10 we've incorporated into the standards with the usual set of  
11 adjustments that occur when we adopt the model code.

12 Even though it's not on the slide for all of the  
13 dwellings, for all dwellings, the kitchen range hood  
14 requirement is now requiring a field verification to  
15 conform with HVI ratings. For multifamily dwellings, the  
16 dwelling can either have a balanced ventilation system or  
17 can use simply a supply only or exhaust only if the prop  
18 (phonetic) passes the blower door test. Next slide,  
19 please.

20 One of the major changes that we did in the  
21 prescriptive package this code cycle was we introduced the  
22 photovoltaic systems. Mazi will be presenting that later  
23 on. We raised the -- but before we did that we had to look  
24 at the efficiency of the buildings, so what we did was we  
25 raised the efficiency requirements for fenestration, added

1 a new requirement for solid doors in the prescriptive  
2 requirement. Quality installation was a compliance grid in  
3 the performance package for 2016 and now it's part of the  
4 prescriptive requirement.

5 We increased the R value of the roof deck and  
6 wall assemblies. We added a new prescriptive option for  
7 heat pump water heaters in new construction, additions and  
8 alterations. For newly constructed buildings the heat pump  
9 option will require either a compact hot water distribution  
10 and drain water heat recovery device or additional PV on  
11 top of the 2019 PV requirements. Or that the installed  
12 heat pump water heater meet the specifications of NEEA Tier  
13 3.

14 We updated the existing prescriptive options for  
15 gas water heaters based on stakeholder feedback. We have  
16 retained under 55 gallon storage options and replaced the  
17 quality insulation installation, which is now a  
18 prescriptive requirement with the low U-factor window  
19 requirement. We've also updated the over 55 gallon storage  
20 options and it will no longer need additional requirements  
21 to meet the prescriptive standards. Next slide, please.

22 For the reference appendices, there has been lots  
23 of editorial cleanup and updates to make the sections  
24 harmonize with federal standards were needed, and to be  
25 easier to read and understand.

1           The updates to the existing JA sections include  
2 updating JA 8, which is the qualification requirements for  
3 high-efficacy light source to use the most recent ENERGY  
4 STAR ratings or tests, excuse me. In NA 7 installation  
5 acceptance requirements for nonresidential buildings and  
6 covered processes, we added three new sections for testing  
7 and verification: lab exhaust verification, fume hood  
8 automatic sash closure systems and ventilation and air  
9 leakage for high-rise residential dwelling units.

10           In the residential appendices section RA 2  
11 residential hers verification testing and documentation  
12 process, we updated a third-party control program.

13           And for RA 3 the residential field verification  
14 diagnostic test protocols, we provided new verification  
15 protocols.

16           Lastly, we added JA 11 and JA 12. Those are the  
17 solar photovoltaic and onsite battery storage, which Mazi  
18 will be discussing now.

19           CHAIRMAN WEISENMILLER: As we're transitioning,  
20 the conference room across the hall is now open for  
21 overflow. I'm encouraging people to clear out, go over  
22 there. Certainly, those who want to do comments can only  
23 do it from this room, but you can certainly listen to  
24 everything over there. But let's get a little bit of  
25 breathing space here.

1           Go ahead, Mazi.

2           MR. SHIRAKH: Good morning, Commissioners. I'm  
3 Mazi Shirakh, the Project Manager for Zero Net Energy and  
4 Photovoltaic Requirements. Next slide, please.

5           So for 2019 Standards we set six goals: One to  
6 increase the building energy efficiency most cost  
7 effectively; contribute to the state's GHG reduction goals;  
8 sustainably reduce the home's impact on grid through  
9 efficiency and PV measures and promote the demand  
10 flexibility and self-utilization of the PV generation;  
11 provide independent compliance path for both mixed-fuel  
12 homes and all-electric homes; and provide tools for Part 11  
13 Reach Codes. Next slide, please.

14           The 2019 Standards approach have several  
15 elements. One was to improve the envelope efficiency as  
16 cost-effectively as possible and also, leveling the playing  
17 field for all-electric homes.

18           We also wanted to come up with a criteria for an  
19 appropriately-sized PV system. And that is a PV system  
20 that complies with the NEM sizing rules that only displaces  
21 the electricity consumption of the house on an annual basis  
22 and not natural gas. And also come up with strategies that  
23 maximize the self-utilization of the PV system and minimize  
24 exports back to the grid. Next, please.

25           As Payam mentioned, you know we have parallel

1 prescriptive paths for both mixed-fuel homes and  
2 all-electric homes. We know all-electric homes tend to have  
3 far lower GHG emissions, so with this cycle of standards we  
4 removed all the barriers for all-electric homes so the  
5 communities who wish to meet those goals, they can do so by  
6 using electrification without additional penalties. Next,  
7 please.

8           So PVs must be cost-effective as are all  
9 standards measures and we use Life Cycle Costing Analysis.  
10 And for NEM we also had to consider the Net Energy Metering  
11 sizing rules and compensation rules. So using those two  
12 criteria combined, Life Cycle Costing and NEM, we  
13 determined that a PV that is sized to displace the annual  
14 kilowatt-hour consumption of the house is cost effective in  
15 all 16 climate zones.

16           I should mention that photovoltaics are a  
17 prescriptive requirement, but battery storage are not and  
18 is only a compliance option. Next please.

19           So here comes the sun, for the first time we are  
20 requiring prescriptive requirements for the PVs. As I  
21 mentioned, it's a PV that's only sized to displace the  
22 electricity consumption of a mixed-fuel home. Even if you  
23 go to an all-electric home the sizing requirement is still  
24 the same; it's based on the mixed-fuel home. And that is  
25 done so to keep the cost of all-electric homes and mixed-

1 fuel homes within range.

2 We also have an option for community solar. And  
3 these would be options that will be approved by the  
4 Commission that the builders can use instead of rooftop PV  
5 systems. And if they want to do so they must demonstrate  
6 that these community solar options have the same energy  
7 benefits as rooftop systems. Next, please.

8 So we have two appendices that Payam alluded to,  
9 Joint Appendix 11 and 12. JA11 is the qualification  
10 requirements for photovoltaic systems. They describe  
11 requirements such as orientation and shading and other  
12 capabilities.

13 And JA12 is the qualification for battery storage  
14 systems. And basically, JA12 ensures that once a battery  
15 is coupled with a PV system it brings the maximum benefit  
16 to the grid, to the environment and the homeowner. Next,  
17 please.

18 We've developed, or enhanced, our compliance  
19 tool, the CBECC-Res to enable the users of the software,  
20 which could be the builders, community planners, local  
21 governments to actually assess their GHG and the energy  
22 implication of their decisions in real time. If they are  
23 trying to meet certain goals they can use this tool to meet  
24 both the CO2 reduction goals energy consumption goals.  
25 Next, please.

1           And then this slide indicates how we've been able  
2 not only to improve the energy efficiency of our buildings,  
3 but also we can achieve very significant CO2 reductions.  
4 And the examples here is an existing home, which is a 2000  
5 compliant home, mixed fuel, may generate 6.5 tons of CO2 --  
6 that's metric tons -- per year. A 2016 compliant home,  
7 which is the existing regulations, can bring that down to  
8 around 3.3. A 2019 compliant with 3.1-kilowatt PV system  
9 and a mixed fuel can further reduce that to 2.3.

10           Now, if you go to an all-electric option the  
11 first option would be with a 3.1-kilowatt PV system. We  
12 can reduce the GHG emissions down to around 1.1 metric tons  
13 per year. And if we size the PV a little bit bigger we can  
14 go down to around half.

15           And none of these options actually include  
16 storage. If you add storage to that the numbers will go  
17 down further. Next please.

18           So the savings are very significant. For a  
19 residential unit the statewide cost savings, the initial  
20 costs are about \$9,500. That includes both the PV system  
21 and energy efficiency measures. And again, this is a  
22 statewide estimate, you know, that would vary depending on  
23 the size of the house, of course. And the savings are  
24 about \$19,000. That's a present value. This is a very  
25 conservative assumption that assumes no energy cost

1 increase over the next 30 years. Even if we assumed a very  
2 modest cost escalation for energy, that number will go up  
3 to \$24, \$25,000 of savings.

4 So in other words, the monthly -- additional  
5 monthly mortgage costs as a result of these measures will  
6 be about \$40, but the energy savings benefits are about  
7 \$80, which is twice as big.

8 The energy savings between 2019 and '16  
9 Standards, without the PV, is about 7 percent for all house  
10 loads. If we add a PV system to that then the savings will  
11 be about 53 percent.

12 And on a three-year cycle of the Standards, the  
13 CO2 savings from residential sector would be about 700,000  
14 metric tons, which is equivalent to about taking off 115  
15 gas cars off the road, with about 18 miles per gallon.  
16 Next, please.

17 So even though we've made a lot of progress and  
18 we think we have a very solid foundation for even going  
19 after a GHG metric, but there are things that we can do in  
20 the future that we need to focus on. And one is to move to  
21 a more GHG-based metric that encourages electrification.  
22 The second one is moving away from this concept of hourly  
23 netting, which assumes that every hour of the year has the  
24 same GHG and energy attributes when in fact we know that  
25 they do not. They change on a daily basis and seasonal

1 basis. Maintain an energy efficiency first priority, but  
2 also maintaining measures that encourage demand response,  
3 demand flexibility that harmonizes the PV systems with the  
4 grid.

5 I think that was my last slide. Next. Oh, one  
6 more. That's in savings. We talked about the residential.  
7 What's interesting here, that table in the middle, it  
8 actually captures all the savings from when the ZNE effort  
9 got started 12 years ago. So we're comparing savings  
10 between 2019 Standards and 2005. So the numbers are rather  
11 impressive in energy units, the terms. We've reduced the  
12 energy consumption of our buildings by about 70 percent.  
13 And for GHGs we've reduced the GHG by more than 52 percent.  
14 So the two efforts actually track each other. And again,  
15 we're on pretty good, solid grounds for launching into the  
16 future. The combined savings between res and non-res is  
17 about 650 gigawatt hours, which is a very large amount.  
18 Next, please.

19 So we're also asking approval for the AACM  
20 Manual, Alternative Calculation Method. I know we  
21 basically did some clarification and some minor  
22 improvements to the document. Next.

23 MR. STRAIT: Hello, Commissioners, this is Peter  
24 Strait.

25 Staff prepared an Initial Study of the effects of

1 adopting this update to the Standards and found that they  
2 did not produce significant negative environmental impacts.  
3 And therefore, the Negative Declaration be appropriate for  
4 this project.

5           We received one commentary on the Initial Study  
6 and Negative Declaration. This was from a Native-American  
7 tribe that had noticed that we were using an outdated  
8 version of the checklist and that the checklist was updated  
9 in 2016 to include tribal cultural resources. So we've  
10 published an addendum to the CEQA document that adds that  
11 updated checklist. That doesn't ultimately change the  
12 conclusions that we reached.

13           We also informally discussed with the Department  
14 of Fish and Wildlife the potential impact on aquatic  
15 invertebrates. They had identified two studies. Staff had  
16 reviewed them. We don't find that they also show evidence  
17 of a significant environmental impact.

18           So again, we are recommending approval of the  
19 Negative Declaration based on the contents of the Initial  
20 Study. Next slide, please.

21           Finally, in this Adoption Order we're including a  
22 few things. The Resolution Adoption Order includes the  
23 nine-point criteria for the -- that was necessary to find  
24 for compliance with the California Building Standards  
25 Commission. In addition, there's a list of errata. These

25

1 are non-substantive corrections, spelling errors and stuff  
2 that we're catching at the last minute.

3           And there are two areas where we're actually  
4 requesting that some changes not be adopted, and these are  
5 fairly specific. There were changes made in the 15-day  
6 language related to duct length. The requirement got  
7 dropped as things were rephrased to be more general. We  
8 need to revert those changes to what was in the 45-day  
9 language, which specified a minimum duct length of 10 feet  
10 before certain requirements applied. This occurs in three  
11 sections of the document. It occurs in Section  
12 120.1(b)1(a)1. It occurs in Section 120.1 (c)1(a). And it  
13 occurs in Section 150.0 (m)12(a)1. In all these cases  
14 we're simply not adopting the proposed 15-day changes and  
15 staying with what we had in the 45-day language.

16           The second issue is related to the solar fraction  
17 requirement for high-rise residential structures. An  
18 exception was proposed in the 45-day language, but a  
19 commenter identified that we needed some more analysis to  
20 really pin down what the appropriate threshold for that  
21 exception would be. So at this time, therefore, we are  
22 requesting that we not adopt the changes to Section  
23 140.5(b) that add an exception to that section.

24           So, to summarize we recommend the following  
25 Motion language for your consideration. We recommend move

1 approval of Item 2 as follows: first, 1) the Initial Study  
2 and Negative Declaration for the 2019 Update; 2) the 2019  
3 Update to the Building Energy Efficiency Standards,  
4 California Code of Regulations, Title 24, Part 6; the  
5 associated administrative regulations in California Code of  
6 Regulations, Title 24, Part 1, except for changes to  
7 Section 140.5, and changes made in the 15-day language to  
8 Sections 120.1(b)1(a)1, 120.1(c)1(a), and 150.0 (m)12(a)1,  
9 as noted; 3) the associated Appendices, Joint Residential  
10 and Non-Residential Reference Appendices and the Alternate  
11 Calculation Method Approval Manual with its appendices; 4)  
12 the Errata provided to you and the public prior to today's  
13 meetings, which contains corrections of various  
14 typographical drafting and similar errors in the update and  
15 5) this Resolution, inclusive of the nine-point criteria.

16 We'd be happy to answer any questions that the  
17 Commissioners may have.

18 CHAIRMAN WEISENMILLER: Thank you. Let's start  
19 with public comment. And I'm going to go through the blue  
20 cards I have. We're going to start with public agencies.  
21 And I noticed a couple of groups actually have multiple  
22 people. Bottom line is you get one shot and you get to  
23 coordinate among yourselves. So let's start with the ARB.

24 MS. ZHANG: Good morning, Commissioners. I'm Zoe  
25 Zhang from the California Air Resources Board. I'm here to

27

1 thank CEC staff's effort to include indoor and outdoor air  
2 quality while pursuing energy efficiency in California. We  
3 want to support CEC staff's proposed revision to Title 24,  
4 Part 6, where it especially supports the requirement of  
5 higher efficiency features on new buildings and in new HVAC  
6 systems installed in existing buildings. Thank you very  
7 much.

8 CHAIRMAN WEISENMILLER: Thank you.

9 Let's go on to the Office of Statewide Health  
10 Planning and Development and after your comments please  
11 give the court reporter your card.

12 Go ahead.

13 MS. SCATURRO: Hello. My name is Diana Scaturro  
14 with the Office of Statewide Health Planning and  
15 Development, speaking on behalf representing the Building  
16 Standards for "I" occupancies, which are healthcare  
17 facilities. We've gone through a significant collaboration  
18 with the Energy Commission. We've gone through detailed  
19 line-by-line analysis. And together we've presented both  
20 through our Hospital Building Safety Board process, our  
21 Committee meetings, which are public hearings. They're  
22 publicly invited meetings.

23 And then we've also presented through California  
24 Hospital Association. We've done a joint webinar  
25 specifically to the healthcare community. And we just

28

1 wanted to express our support for the 2019 Proposals.

2 CHAIRMAN WEISENMILLER: Thank you.

3 MS. SCATURRO: Thank you.

4 CHAIRMAN WEISENMILLER: Thanks for being here.

5 Bob Raymer.

6 MR. RAYMER: Thank you Mr. Chairman and  
7 Commissioners. I'm Bob Raymer, Senior Engineer with the  
8 California Building Industry Association.

9 As indicated in our earlier written testimony  
10 CBIA is supporting the adoption of these building standards  
11 today. It has been a very long process as Mazi indicated,  
12 over 12 years. And we would like to extend our thanks,  
13 especially to Commissioner McAllister and his team for  
14 getting us to this point today. CBIA would also like to  
15 extend a special thanks to Payam and Mazi and all the time  
16 and patience that they have exhibited with us over the  
17 years. And we'd also like to give a shout-out to Dave,  
18 Chris, Bill, Danny, Michael and Peter for the significant  
19 role that they played as well.

20 We are especially appreciative of the CEC's  
21 willingness to work with industry to significantly reduce  
22 overall compliance costs and provide increased design  
23 flexibility. This was the key to gaining industry support  
24 for these first-of-a-kind regulations.

25 Among other things, the CEC is providing

1 significant compliance credit for the installation of  
2 battery storage technology. As time-of-use rates kick in,  
3 battery storage technology will allow the homeowner to  
4 capture the cheaper electricity produced on the rooftop by  
5 the rooftop solar panels during the middle of the day and  
6 keep that power onsite for use in the early evening hours  
7 when electrical rates go up and people crank on the air  
8 conditioner.

9           This storage technology will also assist industry  
10 in the utilities to work together in grid harmonization to  
11 try to reduce the strain on our existing electrical grid.

12           Adoption of these standards represents a quantum  
13 leap in statewide Building Standards. No other state in  
14 the nation will have anything close to this. And you can  
15 bet every one of the other 49 states will be watching  
16 closely to see what happens. Industry recognizes there  
17 will probably be hiccups as with any major change with the  
18 implementation of something of this magnitude. And we look  
19 forward to working with the CEC leadership and staff to  
20 address these issues, should they arise.

21           Looking towards the future, we are well aware of  
22 the desire to seek increased greenhouse gas reductions  
23 above and beyond what we've already done, for both new and  
24 especially for existing buildings. These efforts will most  
25 likely prompt the need for the HCD, the Department of

1 Housing & Community Development, and the Building Standards  
2 Commission, to seek changes to California's electrical,  
3 plumbing, mechanical and green building codes. But all  
4 this will require a very close coordination with the Energy  
5 Commission, then the Air Resources Board.

6 And in conclusion, we already have major builders  
7 interested in implementing a solar-plus-energy-storage  
8 package. So once again, CBIA will be working with  
9 Commissioner McAllister and the CEC staff on an early  
10 adopter program. And with that, thank you for all the time  
11 and effort. And once again we support the adoption of  
12 these regulations today.

13 CHAIRMAN WEISENMILLER: Thank you.

14 ConSol?

15 MS. CORDES: Good morning Commissioners and  
16 staff. I'm Megan Cordes from ConSol and I was the Lead  
17 Technical Support to CBIA for the 2019 Standards. ConSol  
18 supports Bob's compliments to CEC staff. The 2019  
19 Standards are the most stringent increase to our Building  
20 Standards ever. And CEC staff led by Payam and supported  
21 by Mazi listened to the concerns of interested parties,  
22 explained their rationale for changes and asked for  
23 information and technical support as needed to make the  
24 best decisions to move the Standards forward.

25 It's impressive that California will enact an

1 energy code requires a very efficient envelope and require  
2 all new residential units to have adequate solar generation  
3 to neutralize their electric consumption. This is a major  
4 step towards the state's energy policy of zero net energy  
5 buildings and another example of California leading the  
6 nation in energy policy and building codes.

7           The CEC and the building industry are entering  
8 new territory with solar batteries and electric vehicles  
9 being promoted, and in the case of solar, mandated for new  
10 construction.

11           The 2019 Standards have strong incentives to  
12 reduce GHG emissions using heat pumps, both for space  
13 heating and cooling and for water heating and storage.

14           In addition to the CEC proposal the Governor is  
15 strongly encouraging a significant increase in the number  
16 of electric vehicles on the road. CBIA expresses strong  
17 concerns that the electric utilities, the CPUC and the CEC  
18 are not ready for all of these interactive initiatives to  
19 be implemented without creating grid harmonization issues.

20           The regulations that these technologies impact  
21 need to be updated. These include line extension rules,  
22 infrastructure sizing and monthly charges to utility  
23 customers to pay for infrastructure maintenance. This  
24 requires the CEC, the CPUC, the IOUs and CBIA to work on  
25 these issues and arrive at consensus prior to the

1 implementation of the 2019 Standards on January 1st, 2020.

2 It is also important to consider the cost of  
3 these issues when determining cost effectiveness of future  
4 standards. CBIA is ready to participate in the updates of  
5 these regulations. Our concern is that if they are not  
6 resolved the 2019 Standards implementation could be very  
7 difficult.

8 A primary goal of the state's energy policy is to  
9 reduce greenhouse gas emissions; 70 percent of GHG is  
10 related to single-family energy consumption, can be  
11 attributed to homes built before 1980 when California had  
12 no energy code. CBIA has requested at the 2013 and 2016  
13 Standards adoptions meetings that the CEC enact regulations  
14 to reduce GHGs from existing buildings. It's more cost  
15 effective to reduce GHGs on existing homes than new homes.  
16 And we urge the CEC to move forward with existing buildings  
17 rulemaking to determine how to impact the existing building  
18 market.

19 We look forward to working with the CEC to reduce  
20 GHG emissions in the existing housing stock. Thanks.

21 CHAIRMAN WEISENMILLER: Thank you.

22 Southern California Edison?

23 MS. THOMAS: Good morning Chair Weisenmiller,  
24 Commissioner McAllister and Commissioners. I'm Michelle  
25 Thomas, Senior Manager of Codes and Standards for Southern

1 California Edison.

2           On behalf of for Southern California Edison I'd  
3 like to first take this opportunity to thank the  
4 Commissioners and the Building Energy staff for their  
5 tremendous work on the 2019 Building Energy Efficiency  
6 Standards. Furthermore, I'd like to express our support  
7 for the proposed standards as they mark an important step  
8 in reducing energy use in supporting the state's greenhouse  
9 gas reduction goals and broadens customer choice as  
10 demonstrated by the inclusion of various clean technologies  
11 and control strategies.

12           SCE supports the Commission's overall approach to  
13 the proposed standards as it aligns with our commitment to  
14 GHG reduction, customer technology choice and grid  
15 harmonization.

16           As stated in SCE's docketed support letter signed  
17 by our President, Ron Nichols, "In its clean power and  
18 electrification pathway, SCE has developed an integrated  
19 blueprint for California to reduce GHG that includes a  
20 combination of measures to produce the most cost effective  
21 and feasible path forward. We appreciate the alignment  
22 between the 2019 Title 24 Standards, the state's and SCE's  
23 GHG reduction vision."

24           SCE thanks the Commission again for its diligent  
25 and thoughtful approach to developing cost effective

1 Building Energy Efficiency Standards that increase customer  
2 choice and demonstrate dynamic steps toward achieving  
3 California's GHG reduction goals. We look forward to  
4 working with the Commission to support the successful  
5 implementation of the standards to our customers and the  
6 building industry. Again, thank you.

7 CHAIRMAN WEISENMILLER: Thank you.

8 Solar Energy Industries Association?

9 MR. UMOFF: Good morning Chair Weisenmiller  
10 (indiscernible)? Can you hear me now? Okay.

11 Good morning Chair Weisenmiller and  
12 Commissioners. My name is Rick Umoff, California Director  
13 here today on behalf of the Solar Energy Industries  
14 Association. SEIA is a national trade association of the  
15 solar industry, representing over 1,000 solar companies  
16 that do business in California and throughout the United  
17 States. SEIA member companies have created thousands of  
18 jobs in California and driven millions of dollars in  
19 investment in the state.

20 SEIA appreciates your consideration of the  
21 proposed 2019 Update to the Building Energy Efficiency  
22 Standards, including an adoption of all PV and all new  
23 residential construction. We urge the Commission to adopt  
24 the proposed updates before it today, as these new rules  
25 mark the next step in electrification and de-carbonization

35

1 for California.

2 Over the past 15 years, with the implementation  
3 for smart energy policy California has built a strong solar  
4 industry that provides innovative clean energy solutions to  
5 benefit all California residents. Today California has  
6 successfully reduced its energy use and achieved  
7 significant cost savings and environmental benefits through  
8 the adoption of energy efficiency and distributed  
9 generation.

10 Rooftop solar has helped avoid the costly  
11 construction of transmission and distribution equipment to  
12 meet peak loads, enable thousands of Californians to take  
13 control of their energy use and significantly reduce  
14 harmful emissions throughout the state.

15 The inclusion of mandatory PV on all new  
16 residential construction will further these savings and  
17 move the state closer to its de-carbonization goals. The  
18 combination of mandatory residential PV and energy storage  
19 systems is an important step to electrify homes and reduce  
20 greenhouse gas emissions.

21 California permitting of new home construction is  
22 expected to exceed 100,000 homes annually in 2020. The  
23 adoption of PV on homes at this scale will allow builders  
24 to more cost effectively integrate solar into new  
25 communities, which will allow Californians to invest in

1 low-carbon homes that reduce their energy bills and ease  
2 the strain on the power grid.

3 SEIA appreciates the efforts of the Commission to  
4 promote the development of solar alongside energy  
5 efficiency to pursue zero net energy goals. Over the last  
6 two years, SEIA has worked with its members and the  
7 Commission staff to develop the appropriate technical  
8 requirements for equipment performance, energy design  
9 rating and insulation requirements for mandatory  
10 residential PV. This has been a positive collaboration  
11 driven by a robust stakeholder process.

12 The Commission's decision today is undeniably  
13 historic. California has long been the solar leader in the  
14 United States and has paid dividends economically and  
15 environmentally for the state.

16 We urge the Commission to adopt the proposed  
17 update to the Building Energy Efficiency Standards before  
18 it today. And we look forward to continuing our  
19 collaboration with the Commission as we work through  
20 implementation of these groundbreaking new policies. Thank  
21 you very much.

22 CHAIRMAN WEISENMILLER: Thank you.

23 AHAM?

24 MR. MESSNER: Thank you. This is Kevin Messner  
25 with AHAM. Good morning. I'll be very brief. We just

1 have two words that -- and a couple other tweaks that give  
2 us heartburn -- it gives a monopoly to a testing agency.  
3 So we don't want to be forced to have to go to -- let's  
4 just -- related to range hoods. That's why we're here, so  
5 range hoods.

6 So the language creates a monopoly where you have  
7 to go to a certain organization instead of stating what the  
8 certification standard is. So usually we attest to a  
9 certification standard and aren't forced to go to a certain  
10 testing agency. So we don't want a monopoly, we want  
11 flexibility to be able to choose other than that and  
12 appreciate staff talking to us up to as late as last week.  
13 But it's very worrisome to have a monopoly where we have no  
14 control and have to go to them based on the building codes.

15 So we'd like two words taken out and a couple of  
16 other suggestions on how the cfm and the working speeds  
17 are. Thank you.

18 CHAIRMAN WEISENMILLER: Thank you.

19 NRDC?

20 MR. DELFORGE: Good morning Chair and  
21 Commissioners. My name is Pierre Delforge with the  
22 National Resources Defense Council. We're here in strong  
23 support of the adoption of this Building Energy Code  
24 Update. We commend and thank the Commission and staff for  
25 the inclusive process that you've held over the past year

38

1 and several years. And finding a balance outcome that  
2 achieves major advances in energy efficiency and emissions  
3 reductions while affording customers significant lifecycle  
4 cost savings and which help with housing affordability and  
5 giving industry stakeholders flexibility implementation.

6 This update is another major step forward towards  
7 California's clean energy goals. I'm just going to cite a  
8 few of these advances which are particularly important on  
9 energy efficiency, while we're continuing to move forward  
10 on high efficiency buildings, both in residential and non-  
11 residential by requiring rooftop or community solar to help  
12 advance California's clean energy. Clean electricity  
13 goals, by including demand flexibility measures, which are  
14 critical to help reduce emissions and to integrate more  
15 renewables on the grid. And last but not least, by  
16 including an electric water heater compliance pathway that  
17 will unlock the potential for very low-carbon buildings as  
18 well as was shown by Mazi in his presentation.

19 Of course, more needs to be done and Rome wasn't  
20 built in a day, so there are two important next steps that  
21 are ahead of us that we need to get right. And we look  
22 forward to working with the Commission on the alternative  
23 compliance method, which is critical to achieve the savings  
24 that are projected in this code language up for adoption  
25 today. And also, on the next update of the code in 2022,

1 which needs to continue to move the Code towards lower  
2 carbon, low emissions buildings in support of California's  
3 emissions goals.

4 So we look forward to working with the  
5 Commission. We thank the Commission again for its work and  
6 we urge adoption today. Thank you.

7 CHAIRMAN WEISENMILLER: Thank you.

8 California Association of Building Energy  
9 Consultants.

10 MR. SELBY: Thank you Mr. Chairman and  
11 Commissioners. My name is Brian Selby. I am from Selby  
12 Energy and also an Energy Code Ace Instructor. Today I am  
13 here speaking on behalf of CABEC, which is the California  
14 Association of Building Energy Consultants.

15 CABEC is a trade organization representing  
16 California's energy consulting industry. Our members are  
17 the ones who are making recommendations for complying with  
18 energy code as well as preparing the compliance  
19 documentation.

20 CABEC supports the adoption of the 2019 Title 24,  
21 Part 6 Standards. And CABEC would like to express their  
22 appreciation and thanks to the Energy Commission staff for  
23 hearing our suggestions as well as incorporating the  
24 suggestions into the Standards. It is very much  
25 appreciated on behalf of our members.

1 CABEC would like to encourage the California  
2 Energy Commission to continue to work with CABEC, Energy  
3 Code Ace and other stakeholders to clarify some of the  
4 items that we've identified in the standards as concerns,  
5 whether they be compliance concerns or issues that cause  
6 problems with interpreting the intent of the code. So we  
7 would like to recommend that we keep an open communication  
8 and make sure that our members as well as others who aren't  
9 members of CABEC have that opportunity to understand the  
10 intent of the code as well as apply it and demonstrate  
11 compliance.

12 Once again, I'd like to thank the Commission for  
13 hearing our concerns and we have identified some of those  
14 concerns in our docketed letter. So thank you very much.

15 CHAIRMAN WEISENMILLER: Thank you.

16 Let's go to AHRI, Tom.

17 MR. SHEEHY: All right, thank you. Thank you,  
18 Commissioners, Tom Sheehy here on behalf of AHRI. I will  
19 cut to the chase and tell you we're asking you to delay  
20 adoption of this. And here's the reasons why. AHRI of  
21 course is a trade association that represents over 300  
22 manufacturers of heating, air conditioning and  
23 refrigeration of both commercial and residential units.

24 While AHRI appreciates the substantial work  
25 that's gone into the revision the Energy Commission's

1 proposed changes to Title 24, we're quite concerned that  
2 several major and substantive changes were published in the  
3 revised express terms on April 20th, 2018 without any of  
4 the necessary support required by the California  
5 Administrative Procedure Act.

6           Neither the Initial Statement of Reason, the  
7 documented tenet to provide such substantiation nor the  
8 Negative Declaration were reissued to reflect last-minute  
9 changes in the 15-day language. And it's this 15-day  
10 language we're quite concerned about. And we think that  
11 those changes need to be expressed in those documents.

12           Further, changes made in the Revised Express  
13 Terms will directly impact the 2019 Building Energy  
14 Efficiency Standards Fiscal and Economic Impact Statement,  
15 neither of which have been updated for the public. Any  
16 measures ultimately adopted by the Energy Commission in the  
17 2019 edition of Title 24 need to clearly and directly be  
18 evaluated for impact in accordance with current California  
19 law.

20           AHRI appreciates the efforts of the Energy  
21 Commission staff to respond to AHRI concerns in an email  
22 dated and received May 8th, 2018. Unfortunately, these  
23 responses are outside of the standard regulatory process  
24 and do not completely and fully address all the concerns  
25 that AHRI has raised.

1           Specifically, the following issues introduced in  
2 the 15-day language are the basis of my urging the  
3 Commission to delay adoption today. The 15-day language  
4 increases the scope of air filtration requirements for both  
5 residential and non-residential occupancies to require  
6 high-efficiency MERV 13 filters on the return air and other  
7 mechanical systems not previously included.

8           In a reply from staff yesterday it was stated  
9 that it does not matter where the pollutants originate.  
10 However, all of the supporting documentation cites the  
11 source Energy Commission is trying to address as PM 2.5  
12 caused by vehicles outside. Expanding this requirement as  
13 proposed in the 15-day language is not, I report is not,  
14 supported by any documentation published by the Energy  
15 Commission so far and it's not supported by the industry.  
16 It will impact system and statewide power consumption.  
17 Removal of the non-residential pressure drop credit for  
18 calculation standards to significant impact system design -  
19 - and this measure has not been thoroughly evaluated for  
20 the public -- so we're quite concerned about that as well.

21           Staff's reply regarding water heater requirements  
22 was not satisfactory on two counts. First, it's unclear  
23 that the performance method for the compliance will allow  
24 the installation of a gas storage water heater in the input  
25 range of 76,000 to 105,000 btu. And second, the issue AHRI

1 raised regarding federal preemption has not been addressed.

2 I see I'm running out of time. I understand  
3 everybody else is asking you to approve this today. I  
4 would just remind you that the trade association that I  
5 represent are the folks that actually make this equipment  
6 that's going to have to do this. And that if their  
7 concerns aren't met then I think we've got a real serious  
8 problem here, going forward. So we would urge you to take  
9 these comments into consideration. Thank you very much.

10 CHAIRMAN WEISENMILLER: Thank you.

11 Sunrun.

12 MR. GEHLE: Good morning Commissioners, staff.  
13 Helmut Gehle with Sunrun, the nation's largest solar and  
14 home battery provider in the country, headquartered here in  
15 California with various operation centers throughout the  
16 state.

17 We wish to thank the Commission staff for their  
18 leadership and hard work in the 2019 Building Energy  
19 Efficiency Standards. I can only imagine how hard it is to  
20 combine the diverse set of interests when translating a  
21 bold, yet in our opinion absolutely necessary ZNE goal,  
22 into workable building standards. Thanks for your hard  
23 work on that.

24 Sunrun is ready to support the implementation of  
25 the proposed standards. And will continue to provide solar

1 and storage solutions at no or low costs to homebuilders.  
2 Again, we applaud the Commission and staff for their  
3 leadership and fully support the adoption of the 2019  
4 Standards, as proposed. Thank you.

5 CHAIRMAN WEISENMILLER: Thank you. PG&E.

6 Please give the court reporter your card as you  
7 go through.

8 MS. CUNNINGHAM: Good morning, Kelly Cunningham.  
9 Actually, I'm here on behalf today of the California  
10 Statewide Utility Codes and Standards Team. And we  
11 strongly support the adoption of the 2019 Title 24, Part 6  
12 Standards. The proposed changes to the building code as  
13 presented in the 15-day language represent a balance of  
14 many interests. They're a cost-effective way to help  
15 customers reduce energy use, lower greenhouse gas  
16 emissions, and represent a significant milestone in the  
17 continued effort to achieve California's long-term energy  
18 and climate goals.

19 The Statewide Team is comprised of four investor  
20 owned utilities: Pacific Gas and Electric, San Diego Gas  
21 and Electric, Southern California Edison, Southern  
22 California Gas Company and also, several publicly owned  
23 utilities. This standard cycle, we also worked with Los  
24 Angeles Department of Water and Power, Sacramento Municipal  
25 Utility District and an entire collective under Southern

45

1 California Public Power Authority. And we worked  
2 collaboratively to support this cycle.

3 Throughout this cycle, the Statewide CASE Team  
4 has had the opportunity to work with the Energy Commission  
5 and many other dedicated stakeholders. And we thank them  
6 all for their input and their collaborative spirit. And we  
7 commend the Energy Commission for creating and maintaining  
8 a platform for open discussion.

9 And we appreciate the constructive dialogue that  
10 went in to developing code changes that will not only  
11 reduce energy, but are cost effective, technically feasible  
12 and enforceable. The Statewide CASE Team looks forward to  
13 working with the Commission and other interested parties on  
14 the next cycle of Title 24. And to support the  
15 implementation of the 2019 Standards, we plan to offer  
16 tools, training and resources through the Energy Code Ace  
17 Program to realize the goals that it promises. So thank  
18 you and we strongly support adoption today.

19 CHAIRMAN WEISENMILLER: Okay. Thank you.

20 Tesla.

21 MS. WAHL: Good morning Commissioners. My name  
22 is Francesca Wahl. And as was indicated in my written  
23 comments, I'm here today on behalf of Tesla to express our  
24 support for the adoption of the 15-day language of the 2019  
25 California Building Standards. And specifically, as these

1 relate to incorporating solar and storage for new homes.

2 Tesla's mission is to accelerate the world's  
3 transition to sustainable energy. Therefore, as a provider  
4 of energy products including a solar PV and storage we are  
5 committed to working with staff and the other stakeholders  
6 to help implement the 2019 Standards and ensuring a  
7 successful transition to sustainable energy for customers  
8 in California.

9 First, we'd like to thank Energy Commission staff  
10 as far as Commissioner McAllister and his team for their  
11 leadership in developing the 2019 Standards and working  
12 collaboratively with stakeholders over the past several  
13 years.

14 Second, we'd like to express our strong support  
15 for incorporating solar PV as a prescriptive requirement  
16 for all new residential construction wherever feasible and  
17 providing a pathway to receive credit for storage paired  
18 with solar PV under the 2019 Standards.

19 Energy storage, coupled with solar, is a fully  
20 dispatchable, carbon-free solution that will be critical to  
21 meeting the state's zero net energy goals and overall  
22 greenhouse gas targets. The current requirements laid out  
23 for the 2019 Standards for solar and storage provide a good  
24 pathway for the industry to help drive down costs, increase  
25 efficiency and provide customers savings for new homes

1 constructed in California.

2 We also look forward to working with Energy  
3 Commission staff on new compliance pathways as we move  
4 forward in the Compliance Manual process. Thank you again  
5 for your leadership and the opportunity to express our  
6 support today.

7 CHAIRMAN WEISENMILLER: Thank you.

8 Tim Carmichael, could you give the court reporter  
9 a card after you testify?

10 MR. CARMICHAEL: Good morning Commissioner  
11 Weisenmiller, members of the Commission, Tim Carmichael on  
12 behalf of San Diego Gas and Electric.

13 Just want to register a concern that's broader  
14 than this program, but it's an ongoing concern for us, and  
15 that has to do with the NEM cost shift. It's a growing  
16 problem and it's hurting middle-income families who rent  
17 and can't afford solar. We continue to hope that the PUC  
18 will fix this issue per the AB 327 passed into law several  
19 years ago.

20 We continue to support solar growth and are  
21 seeing it expand as evidenced by our rooftop totals. And  
22 we want to ensure that the program structure is  
23 appropriate. Thank you.

24 CHAIRMAN WEISENMILLER: Thank you.

25 Let's go to Rmax, Steve.

1 MR. DUBIN: Get my card first though.

2 CHAIRMAN WEISENMILLER: Okay.

3 MR. DUBIN: Good morning and thank you  
4 Commissioners, CEC staff. My name is Steve Dubin. I'm the  
5 Architectural Development Manager.

6 CHAIRMAN WEISENMILLER: Is your mic on?

7 MR. DUBIN: Is it now?

8 CHAIRMAN WEISENMILLER: Good.

9 MR. DUBIN: All right, I'll start again. I'm  
10 sorry. My name is Steve Dubin. I'm the Architectural  
11 Development Manager for Rmax Incorporated here in Northern  
12 California.

13 First of all we'd like to say that Rmax fully  
14 supports the California Energy Commission's goals for  
15 constantly improving energy efficiency. And we support the  
16 adoption of the 2019 Codes and Standards as we have read  
17 them so far.

18 Now that being said, while we appreciate that the  
19 Commission has included language for the use of continuous  
20 insulation above the deck in the high-performance attic  
21 section, we do disagree with the decision to remove Option  
22 A as a prescriptive requirement. We understand it remains  
23 as a performance option, but we find in our business  
24 travels that those are usually met by referencing and  
25 building from prescriptive requirements, as they are

1 written.

2           Also, we feel that the removal of Option A goes  
3 against the "unwritten goal" that I have seen of the  
4 California Energy Commission that's also mentioned when we  
5 do EPIC-wise forums or in educational seminars that are  
6 hosted by Energy Code Ace. And that goal is in the  
7 promotion and encouragement in research and development of  
8 new and innovative products designed to meet the code.  
9 Materials that have been available for decades by Rmax as  
10 well as other continuous insulation manufacturers, were  
11 designed and implemented in a good part because of the  
12 goals that were set forth by codes and standards like the  
13 California Energy Commission's Title 24.

14           But that being said, we again support the  
15 adoption of the 2019 Codes and Standards, thank you.

16           CHAIRMAN WEISENMILLER: Thank you.

17           Let's go to Mitsubishi.

18           MR. SEVERANCE: Hello. Thank you for the  
19 opportunity to address you this morning. I want to start  
20 out by thanking the Energy Commission for all its good  
21 work. My sense is that the code is definitely moving in  
22 the right direction in many respects.

23           We're especially, Mitsubishi Electric being a  
24 company really dedicated to very high performing high-  
25 efficiency heat pump systems, we're very happy to see a

1 prescriptive path for heat pump hot water heaters even  
2 though we don't really manufacture those, because it really  
3 allows a pathway for an all-electric ZNE home. And we see  
4 that to be a fulfillment of the long-term goals of the  
5 Energy Commission and something that's really an objective  
6 in terms of reducing greenhouse gases statewide.

7 I wanted to request from the Commission that you  
8 consider a process of code revision in the next cycle that  
9 is far more flexible than what you currently use as a  
10 process. And one of the reasons for my concern about that,  
11 and our company's concern, is that there are many  
12 technologies that are evolving very quickly right now, a  
13 lot of companies spending significant amounts of money in  
14 research and development. And I think there are really key  
15 areas where there's a gorilla in the room, especially with  
16 grid harmonization technologies, in bringing those to  
17 market very quickly. And my sense of your current code  
18 revision process is that you decide very early on in the  
19 code cycle what things you're going to address. And then  
20 you stick only to those.

21 And innovations in rooftop solar for example, if  
22 they're not in your scope of work you're probably not going  
23 to address those. Passive solar technologies and phase-  
24 change materials that are coming to market in the next  
25 couple of years offer the opportunity to eliminate 90 to 95

1 percent of the heating and cooling loads in our milder  
2 climates. And what that does for grid harmonization is  
3 really significant.

4 So I just ask you to really consider kind of this  
5 bigger design review of the whole revision process. And  
6 consider allowing it to be more agile in addressing some of  
7 these emerging technologies that can really be brought to  
8 market much more quickly. We believe that that's really in  
9 the interest of the long-term goals of the Energy  
10 Commission in meeting AB 32.

11 One example of that is that currently there are  
12 incentive programs for solar thermal hot water systems.  
13 Talking to solar hot water installers around the state it's  
14 somewhat commonly known that that technology has already  
15 been eclipsed by heat-pump hot water heaters with passive  
16 solar. That's just one example.

17 We are also -- (timer rings).

18 CHAIRMAN WEISENMILLER: Your time is up. Thank  
19 you. You can deal with that in the next cycle.

20 FEMALE VOICE: Through written comments.

21 CHAIRMAN WEISENMILLER: Through our written  
22 comments.

23 MR. SEVERANCE: Thank you.

24 CHAIRMAN WEISENMILLER: Vote Solar is next.

25 MS. OLEKSIW: Thank you Commissioners. My name

1 is Zadie Oleksiw and I'm the Communications Director at  
2 Vote Solar. We are a nonprofit organization that works to  
3 lower solar costs and expand solar access nationwide by  
4 bringing solar energy into the mainstream.

5 On behalf of Vote Solar's 30,000 California  
6 members and because of my own personal stake in the climate  
7 crisis, I'm here today in strong support of the CEC's  
8 historic plan to acquire solar on all new qualifying homes.

9 Building solar on new homes as we've heard is  
10 consistent with California's zero net energy goals for new  
11 buildings. And it's a great way of getting rooftop solar  
12 built cheaply for customers. That's because when you  
13 install solar PV at the time of construction you get  
14 economies of scale and save big on non-hardware costs, like  
15 custom acquisition, permitting and financing. Reducing  
16 these soft costs, which can account for as much as 65  
17 percent of the new solar systems means that the small  
18 increase in the home cost from the solar will be far  
19 outweighed by the net energy bill savings from that same  
20 solar.

21 So we did some quick calculations to illustrate  
22 this point, keeping in mind that solar equipment only  
23 accounts for about a quarter to a third of total solar  
24 installation costs. So assuming modules are 40 cents a  
25 watt and the other system components and equipment costs

1 about 85 cents, and if you want to consider a 10 percent  
2 profit margin for the builder that would be cost of about  
3 \$1.40 a watt, or \$4,200 for a three-kilowatt system. If  
4 you wrap that in a 30-year mortgage at a 3.92 interest rate  
5 the incremental monthly mortgage cost is about \$20.

6 Now consider the net energy savings. Under the  
7 current net metering tariff and time-of-use B rates a TOU  
8 residential customer in the Central Valley would save \$85 a  
9 month on their electricity bill from that solar array,  
10 resulting in a net savings up to \$65 a month for new  
11 homeowners.

12 There is an undeniable benefit for future new  
13 homeowners on new construction with the solar. This plan  
14 would keep California leading with bold ideas for clean  
15 energy progress during a time when the country needs that  
16 leadership and our environmental leadership more than ever.  
17 I strongly urge you to approve the measure to require solar  
18 on all new homes. Thank you.

19 CHAIRMAN WEISENMILLER: Thank you.

20 Nancy Nelson.

21 MS. NELSON: Good morning Commissioners. Thank  
22 you very much for taking all these public comments. It's  
23 very impressive all the folks we have in the room. I work  
24 for an architectural firm in the Bay Area that specializes  
25 in production housing. And I've been designing homes for

54

1 over 30 years. I'm very proud of what the building  
2 industry has achieved by the implementations of the energy  
3 standards, what we've done for energy savings. And it's  
4 great to be able to give homeowners new homes that are  
5 comfortable, energy efficient and they can feel good that  
6 they're not having a negative impact on our environment.

7           When we design homes there are many factors  
8 involved. Architecture is the art and science of building  
9 homes. We're talking today about the science part of it.  
10 And no one would argue that there's nothing of more  
11 paramount importance than our planet and our resources.  
12 But along with that we can't give up on the aesthetics as a  
13 society. And housing affordability is something else that  
14 we deal with. And so, I come with a different perspective.  
15 And I've talked to Mazi and Payam many times over the last  
16 couple of years to help us maintain those other aspects of  
17 home design without completely giving up on things that are  
18 important. And I'm here to thank them and to thank you for  
19 creating a staff that is so receptive to input.

20           One specific example, in the previous Energy Code  
21 the orientation azimuth for solar was so narrow it was  
22 severely restricting roof plan design and plotting of  
23 homes. And they listened. We gave them many examples of  
24 what was causing the problem. They modified language and  
25 helped us to continue to be able to achieve very

1 attractive, comfortable home designs.

2           So this is not nearly as technical as everyone  
3 else, but I wanted to thank the staff for being so open in  
4 the many conversations we've had over the last few years.  
5 So thank you very much for your service.

6           CHAIRMAN WEISENMILLER: Thank you. Thanks for  
7 being here.

8           Okay. Now I have a couple of cards which are  
9 multiple people, so you have one slot. Environment  
10 California, please come on up.

11           MS. TOVAR: Good morning, my name is Eileen  
12 Tovar. And on behalf of Environment California I would  
13 like to strongly encourage the California Energy Commission  
14 to adopt the proposal before it today, to require solar  
15 panels on those new qualifying homes to have solar power.

16           This historic action makes California the first  
17 state in the country to mandate solar panels on new home  
18 construction. California has long been home to pioneering  
19 solar policies. And we applaud today's decision to require  
20 solar power on new homes. At this point any new home or  
21 building constructed without solar power is a missed  
22 opportunity to capture clean energy from the sun and move  
23 California to 100 percent clean energy future.

24           Environment California has a long history of  
25 moving the ball forward on clean energy, including

1 sponsoring the Million Solar Roofs Initiative in 2006,  
2 which jump-started the mainstream solar market by creating  
3 a 10-year, 3.3 billion statewide effort to install 300 --  
4 I'm sorry, 3,000 megawatts of rooftop solar power.

5           Solar is booming in all parts of the country and  
6 more Americans are going solar every day. As of 2017 the  
7 United States had enough solar energy capacity installed to  
8 power more than 10 million homes. California is leading  
9 the way with more solar power than any other state thanks  
10 to nearly 800,000 solar projects as of the end of 2017. Of  
11 the top 15 cities nationwide that have installed the most  
12 solar power, 5 are in California: Los Angeles being No. 1,  
13 San Diego No.2, San Jose No. 5, Sacramento No. 12 and San  
14 Francisco being No. 14.

15           However, we are only capturing a tiny percentage  
16 of our full solar potential. Enough sunlight hits the  
17 United States each year to provide 100 times more power  
18 than we are currently consuming. Harnessing more of this  
19 pollution-free power would mean cleaner air, a more stable  
20 climate, less strain on natural resources and more  
21 resilient communities. By taking this action today we can  
22 help move to 100 percent clean energy and hopefully take  
23 away some of the worst impacts of climate change. And  
24 start to protect the future for all of our children, our  
25 future grandchildren, our great-great grandchildren. Thank

57

1 you very much.

2 CHAIRMAN WEISENMILLER: Thank you.

3 Okay, California Solar and Storage Association.

4 Yeah.

5 MR. KNUTSEN: All right, thank you Chair and  
6 Commissioners and staff for the opportunity to speak here  
7 today. I'm Kelly Knutsen, the Director of Technology  
8 Advancement for the California Solar and Storage  
9 Association. We represent 500 businesses across the state  
10 that are installing solar plus storage, manufacturing,  
11 distributing, financing and doing the whole value chain.  
12 Here today also is Ed Murray, who's the President of the  
13 California Solar and Storage Association and Laura Gray,  
14 who's our Storage Advisor.

15 We are very excited to see that solar PV is going  
16 to be required on all new homes going forward in 2020.  
17 This is a historic moment that's been said many times  
18 before. We still agree. And we urge you to adopt today's  
19 decision. It looks like about 15,000 new solar homes each  
20 year are being sold in Southern California, and this would  
21 move it to 80,000 or maybe even 100,000 as Rick pointed out  
22 from SEIA.

23 This also importantly has a solar-plus-storage  
24 option. And this is great for options for consumers and  
25 builders to be able to figure out what is something that

1 the consumer would like to have that would give them the  
2 choice of how they would like to meet our very ambitious  
3 and appropriately ambitious energy efficiency goals here in  
4 the state. And this will lay the groundwork for going  
5 forward that solar plus storage is really going to be the  
6 future for having solar and storage everywhere across the  
7 state in order to meet our ambitious greenhouse gas  
8 emission goals.

9           The cutting-edge storage also, it provides a lot  
10 of grid benefits. And I would think that that's going to  
11 be an important way that we're going to meet our -- how  
12 everything is integrated into the grid.

13           Solar water heating continues to an important  
14 part of the code. I'm glad to see it's continuing on here  
15 in this cycle. And we really look forward to -- we had  
16 some excellent conversations with staff about how we want  
17 to look at the next ambitious cycle you guys are about to  
18 embark on, the 2022 cycle when we're looking at the  
19 commercial building sector and getting to net zero net  
20 energy buildings.

21           And we're doing -- we're working really hard in  
22 the state on the electric side, we're working really hard  
23 in the state on the transportation side. There is heating  
24 and cooling. That's a big wedge of that greenhouse gas  
25 emission pie. We need to start -- continue to reduce.

1 Solar water heating is right there for it. There's other  
2 technologies as well, let's include all of them, going  
3 forward.

4 So I just wanted to conclude saying we're looking  
5 forward to working with the Commission, the staff on  
6 integrating solar PV, solar storage, solar water heating,  
7 all of this into this cycle, getting that implementation  
8 right. You guys are doing a great job of figuring out of  
9 how to get the technical stuff right. And then, let's get  
10 some more ambitious efforts going forward in the future.  
11 Thanks again.

12 CHAIRMAN WEISENMILLER: Thank you.

13 Anyone else in the room? Please, blue card.  
14 Have you -- I need --

15 MR. INTAGLIATA: Thank you Commissioner. My name  
16 is Shawn Intagliata. I'm with a company called Cobalt  
17 Creed and I also represent a company called Unico.

18 The Energy Commission has seen fit to appropriate  
19 small duct high velocity into the new standards, the 2019  
20 Standards. And as the leader, Unico, in manufacturing of  
21 that technology we cannot thank you enough. We urge  
22 adoption today. Five minutes from now would be great.

23 (Laughter.)

24 We want to particularly thank Commissioner  
25 McAllister for his help. He has been awesome. It's been a

1 long journey. Hhe's been with us the whole time. Our good  
2 friend Mark Alatorre, Peter, Mazi and Pam have been  
3 terrific. We are a small American-based, American  
4 manufacturer of a leading-edge technology and we do not fit  
5 into the square peg of traditional HVAC. We love what you  
6 are doing in California.

7 Our federal legislation was introduced by  
8 Congressman Henry Waxman. How appropriate. California is  
9 our second favorite state in the union. And we cannot  
10 thank you enough. And we look forward to working with  
11 staff and you guys in the near future. Thank you.

12 CHAIRMAN WEISENMILLER: A new blue card, NAIMA.

13 MR. COTTRELL: Good morning I'm Charles Cottrell,  
14 representing the North American Insulation Manufacturers.  
15 Our members make fiberglass and rockwool insulation.

16 We want to thank the Commission and staff for all  
17 the hard work on the 2019 Update and continuing to lead on  
18 energy efficiency issues. NAIMA supports the adoption of  
19 the Standards as published.

20 We strongly support the concept of separating  
21 efficiency and generation and encourage the Commission not  
22 to allow the tradeoff between the two.

23 We also support the revisions to the new high-  
24 performance attic and wall requirements.

25 NAIMA looks forward to working with the

1 Commission on the implementation of the quality insulation  
2 installation criteria, as a prescriptive requirement and  
3 working with the Commission to develop guidance to help  
4 that go smoothly.

5           Again, NAIMA strongly supports the adoption of  
6 the Standards and thank you for the opportunity to speak  
7 this morning.

8           CHAIRMAN WEISENMILLER: Thank you. Anyone else  
9 in the room?

10           (No audible response.)

11           CHAIRMAN WEISENMILLER: All right, so we're going  
12 to go to the telephone line now. Let's start with the  
13 California Housing Partnership.

14           MR. TATEISHI: My name is Collin Tateishi. I  
15 work for the California Housing Partnership Corporation.  
16 We're a statewide non-profit that assists non-profit  
17 owners, housing owners and government housing agencies to  
18 create and preserve affordable housing to low-income  
19 households while providing leadership on housing,  
20 preservation policy and financing.

21           Many of these affordable housing organizations  
22 have extensive experience with energy efficiency and solar  
23 at multi-family residential properties. That said we  
24 strongly support the flexibility that the California Energy  
25 Commission has provided through exceptions for solar

1 requirements at multi-family properties in the revised  
2 standards.

3 We respectfully ask that the Commission clarify  
4 that the following exemptions apply to both low-rise and  
5 high-rise multi-family properties: First, the community  
6 solar and community battery storage exemption and second, a  
7 reduction of solar PV requirement for project paired with  
8 battery storage.

9 Through our work on the CFD's Low-Income  
10 Weatherization Program and CPUC's New Solar on Multi-Family  
11 Affordable Housing Program, we've learned that mid and  
12 high-rise projects, which are common and dense in urban  
13 areas often do not have enough roof space for onsite solar  
14 systems. Many of these properties with small roofs may be  
15 able to host an onsite solar thermal system but may not  
16 have the physical roof space necessary for onsite solar PV  
17 for common area and tenant-serving uses.

18 I thank you for your time. And we look forward  
19 to engaging with the Commission on this issue, moving  
20 forward. And we certainly commend the staff and the  
21 Commission's excellent work on this. Thank you for the  
22 inclusive process.

23 CHAIRMAN WEISENMILLER: Thank you.

24 Sierra Club.

25 MR. MORENO: Hi, good morning. Eddie Moreno here

1 on behalf of the Sierra Club California in support of the  
2 proposed Title 24 Building Standards.

3           Yesterday the Sierra Club submitted a letter to  
4 the CEC signed by nearly 6,000 members and supporters in  
5 California, asking that the CEC adopt the proposed 2019  
6 Update to the Building Code. Thanks to the Energy  
7 Commission the state is a national leader in energy  
8 efficiency standards. The proposed standards will save  
9 energy and water, require solar power, reduce reliance on  
10 gas plants, improve air quality and cut climate pollution.  
11 And at the same time the new standards will lower utility  
12 bills and provide greater comfort for residents.

13           In light of the rapidly changing climate and  
14 California's ambition to be a leader in the fight against  
15 climate change we urge the Commission in the next update to  
16 the standards, in the 2022 Code, to go further to reduce  
17 our reliance on gas and to get the state on the pathway to  
18 climate-friendly zero-emission buildings. California now  
19 burns as much gas in our buildings as we do in our power  
20 plants. And gas is responsible for over 40 percent of the  
21 building sector-related GHG emissions.

22           While we have programs to increase the use of  
23 renewable energy and reduce our reliance on gas plants we  
24 do not have policies in place to replace gas use in  
25 buildings with high-efficiency electric technologies that

1 can be powered by clean energy.

2           Again, we support the proposed 2019 Standards.  
3 And in the next update for the 2020 -- update to the 2022  
4 Standards we urge the California Energy Commission to align  
5 the building energy efficiency standards with the state's  
6 common goals by raising the bar for climate-friendly  
7 buildings. Thank you.

8           CHAIRMAN WEISENMILLER: Thank you.

9           Owens Corning.

10           MR. MULLINS: This is the Market Development  
11 Leader with Owens Corning. In addition to our docket  
12 comments we would like to verbally thank Commission staff  
13 for their efforts in the development of the 2019 Building  
14 Energy Efficiency Standards. The Commission staff had to  
15 balance previously-stated public policy goals, multiple  
16 stakeholder perspectives, and often sort through facts  
17 versus hyperbole. Owens Corning wishes to express our  
18 support for the current 15-day language as an acceptable  
19 industry compromise and a reasonable next step forward in  
20 the journey to net zero energy. We therefore support  
21 adoption as recommended by Commission staff.

22           Additionally, we would like to express specific  
23 appreciation to Payam and Mazi for their willingness to not  
24 only hear industry concerns, but to work with industry in  
25 balancing competing agendas. Their leadership was critical

65

1 to gaining consensus between manufacturers such as  
2 ourselves, CBIA, NAIMA, SEIA and others to largely support  
3 the proposed standards. Thank you for allowing us to speak  
4 in support of the standards and immediate adoption this  
5 morning.

6 CHAIRMAN WEISENMILLER: Thank you.  
7 Peter Esposito.

8 MR. ESPOSITO: Good morning Mr. Chairman and  
9 Commissioners. As you, Mr. Chair well knows, I've been in  
10 the energy industry for almost 40 years. For only the  
11 second time I'm appearing on my own behalf, not that of a  
12 client. Yesterday was the first where I gave a TED Talk at  
13 the Energy Bar Association Annual Meeting in Washington,  
14 D.C., urging a holistic approach to reducing greenhouse gas  
15 emissions nationwide.

16 I heard about the mandatory PV Initiative  
17 yesterday. And while I'm a huge advocate of solar, I  
18 initially thought it was fake news. And I would like to  
19 add I think you're about to make a big mistake. I  
20 apologize for being late to the game here and I will keep  
21 my comments brief and at a high level.

22 While I spend a good deal of time in California  
23 now, I heat a large house in Colorado using insulation,  
24 passive and active thermal solar, all this at minimal cost  
25 and with minimal emissions. I've been doing this for 22

1 years and I can assure you that from a financial  
2 perspective where I have amazingly low heat and hot water  
3 bills, my investment will never pay out. But that was a  
4 decision I made knowingly.

5 My pitch yesterday, as it is today, is there are  
6 hundreds of ways to reduce greenhouse gas emissions. More  
7 importantly, with accelerating technological advances there  
8 will be thousands in a few years. I urge you not to lock  
9 in any favored technology today, but rather ease either  
10 price carbon or set emissions limits and let consumers  
11 choose how they meet those standards. And let providers  
12 compete for their business with even better technologies  
13 for helping them meet those goals.

14 We have a high standard of living today in large  
15 part because of electrification. Electrification however  
16 was successful, because it took advantage of economies of  
17 scale. And while there may be a case made for going to  
18 back to microgrids, I highly doubt it applies universally.

19 My skin in the game is that I want to save the  
20 planet, but I want to see it done in an efficient and cost-  
21 effective manner that raises our collective standard of  
22 living. And I know it can be done, because I've done it.

23 I urge you to avoid in the name of accelerating  
24 deployment of today's technologies, imposing a universally  
25 prescriptive rule that will lock out tomorrow's. Perhaps a

1 safe harbor is the way to go in which what you've proposed  
2 today says, "We meet the standards, but please don't lock  
3 out other technologies." Thank you for listening.

4 CHAIRMAN WEISENMILLER: Thank you.

5 Okay. It's the last one, I'm trying to  
6 understand, (indiscernible) H-A-H-R-I speaker? He's gone?  
7 Okay.

8 So I think that's -- so anyone else on the line?

9 (No audible response.)

10 CHAIRMAN WEISENMILLER: Okay, so we've hit all the  
11 public comment. Let's start with staff. Do you have any  
12 responses to any of the public comments?

13 MR. SHIRAKH: I can respond to the last commenter  
14 about the requirement for PVs and the contribution to the -  
15 -

16 CHAIRMAN WEISENMILLER: Again, I'm asking you to  
17 think through all the comments that we've gotten. Are  
18 there any that you have to respond to? Not just as simply  
19 the last commentator.

20 MR. STRAIT: I think we can jump in and respond  
21 to a couple of the -- for example, I think the biggest one  
22 that we need to respond to is the request to delay  
23 adoption. I don't know if it would be better -- Matt,  
24 would you be willing to speak to that? Matt Chalmers is a  
25 member of our legal team.

1 MR. CHALMERS: Good morning, Commissioners.

2 Regarding --

3 MR. STRAIT: Mic on.

4 MR. CHALMERS: Oh. It's on.

5 MR. STRAIT: Oh, it is? Okay.

6 MR. CHALMERS: We do not believe that there is a  
7 need to delay adoption from the legal standpoint. We have  
8 been working with staff for some time now, evaluating all  
9 of the various legal impacts. There is nothing that we  
10 have heard raised today that we have not already  
11 determined. We understand that we're good to go.

12 CHAIRMAN WEISENMILLER: Thank you.

13 MR. STRAIT: So the other -- I believe there was  
14 the AHAM issue with creating a monopoly. What I would  
15 speak to on that is that the -- what they're referring to  
16 is that we require that certain types of kitchen range  
17 hoods be listed, and a database maintained by the Home  
18 Ventilation Institute. This is consistent with how we have  
19 the Cool Roof Rating Council and the National Fenestration  
20 Rating Council, requiring their rating of certain products.

21 We are not aware of any other organization that  
22 publishes a list of rated products in the fashion that they  
23 do. And to the -- if one were to emerge, we are not  
24 prohibiting someone else from doing this. And we would be  
25 happy to acknowledge them in the standards, either in the

1 future rulemaking cycle or through one of the processes  
2 that we have available for a mid-cycle change. So we don't  
3 see that as creating a monopoly. We would love for there  
4 to be other resources we could also point to.

5 So that's our issue there.

6 CHAIRMAN WEISENMILLER: Okay. So we're going to  
7 transition to the Commissioners now. And I think  
8 Commissioner McAllister may have some specific follow-up.

9 COMMISSIONER MCALLISTER: Yes. So thanks for the  
10 presentation. Certainly, I want to thank the staff for the  
11 hard work. You know, Mayam, not Mayam, but maybe that's  
12 what we should refer to you now -- as Payam and Mazi.  
13 (Laughter.) You guys are joined at the hip at this point,  
14 yeah. But Peter, Chris, Christopher, Danny and Matt,  
15 Rebecca, Dave Ashuckian, who's been running a lot of traps  
16 on this lately as well, but the whole staff from the  
17 Building Standards Office. It's really been a lot of work,  
18 a lot of lifting. I really appreciate the interactivity  
19 with my office and with me. And just making sure that  
20 we're talking to stakeholders and that we're giving  
21 everyone every chance to participate.

22 And even if there are areas where there ends up  
23 not being agreement, I would say in the vast majority of  
24 cases there ends up being a solution that everyone's  
25 amenable to. And so I think you've hear a lot of the

70

1 comments along those lines, that flexibility and the  
2 transparency of the process I think is really one of our  
3 strongest points here.

4 I guess there were some other commenters who  
5 seemed to have specific issues. Certainly the AHRI did.  
6 I'm aware of all of the detail we've gone through with that  
7 and why we ended up where we are, which I'm actually  
8 comfortable with. But I want to give you the change to  
9 respond to that and I guess that was kind of the big one.

10 MR. STRAIT: Sure, I add some additional detail  
11 there.

12 COMMISSIONER MCALLISTER: Yeah.

13 MR. STRAIT: Where AHRI -- we think where there's  
14 some misunderstanding is the Administrative Procedures Act  
15 does not require the reissuance of an Initial Statement of  
16 Reasons when there are some amendments proposed. There is  
17 a sufficiently related criteria that says if you make  
18 sufficiently related changes to the 45-day language, and  
19 what was noticed in those of proposed action, you must make  
20 that available for 15 days. And then you document the  
21 differences, any new -- and provide justification for any  
22 new amendments -- in the final Statement of Reasons, which  
23 is issued following the document.

24 So there wouldn't be a reissuing of the Initial  
25 Statement of Reasons. It would not cause us to revisit the

1 California Environmental Quality Act documents, as there is  
2 no difference in significance or insignificance we've  
3 identified.

4 So those issues we don't see as ones that would  
5 require us to either perform some different process or  
6 something that is unusual with regard to the Administrative  
7 Procedures Act or that would actually -- that would make  
8 any sort of delay appropriate. We've heard from dozens of  
9 people that this is what California wants and needs, so  
10 that's -- we would similarly -- staff would simply  
11 recommend adoption of the document.

12 COMMISSIONER MCALLISTER: Yeah, in terms of the  
13 technical piece, you're comfortable where we're landing  
14 with the MERV 13 and the --

15 CHAIRMAN WEISENMILLER: Yeah, I was going to ask  
16 to ask you, the attorney was nodding at your legal  
17 commentary, but just in terms of on the technical side why  
18 are we doing MERV 13?

19 MR. STRAIT: So, do you want me to respond to  
20 this?

21 MR. BOZORGCHAMI: Actually, I would like to have  
22 Peter -- excuse me, not Peter Strait, Jeff Miller act on  
23 this one or Christopher Meyer, our Office Manager.

24 MR. MEYER: Chair, Commissioners, this is  
25 Christopher Meyers. I'm the Manager of the Building

1 Standards Office and have been looking at this air quality  
2 issue for quite a while, working with Eric Bijard  
3 (phonetic) from Zoey earlier. We basically identified the  
4 PM 2.5 and other particulate matter issues that we needed  
5 to address.

6           From a technical standpoint we looked very  
7 carefully at AHRI and other comments on concerns that it  
8 would require a larger air handler. And with the  
9 information that our staff was able to put together and  
10 with coordination with the utilities on them supporting us  
11 with additional testing, we found that, I think, going to  
12 the higher MERV filtration did not cause problems with the  
13 system that would cause the additional air handler  
14 equipment requirements that initially was feared. It was  
15 basically a little bit about a pressure drop and how that  
16 pressure drop would affect the efficiency of the system and  
17 the system requirements. We found that that was not an  
18 issue. And that's what we've been pushing out to the  
19 industry and with that information to back it up.

20           I think there was a -- one statement that we just  
21 wanted to clarify. We've been very clear all along that  
22 the indoor air quality is an issue from both indoor  
23 sources, such as cooking, and outdoor sources of many  
24 different types, of particulate matter with the non-  
25 attainment. So we've been very clear in the documentation

1 that it's both issues that we're trying to address, not  
2 just outdoor air quality in areas of non-attainment.

3 COMMISSIONER MCALLISTER: Thanks.

4 So there's a lot of interest, obviously, in this.  
5 We've got a full room. I mean, a lot of it are the  
6 commenters and people interested in this item.

7 This has been -- I guess I want to just put this  
8 in perspective. This is a step, albeit a very important  
9 step, but a step nonetheless in a long trajectory that we  
10 have been planning for and telling the world, certainly all  
11 of our stakeholders. But there have been goals that  
12 California has established since more than a decade ago  
13 that are clearly in this direction. And so we've been --  
14 this is one piece of an overall, not just within the  
15 Building Standards, but with the overall policy sweep that  
16 California has to reduce greenhouse gas emissions. Tight,  
17 high-performing homes; focusing on the energy efficiency  
18 first, that's been our bread and butter for 40 plus years.  
19 And we're in a terrific situation in the marketplace right  
20 now where we have a lot of great options that are cost  
21 effective, including solar.

22 And the solar industry is a mature industry now.  
23 And so, having had several cycles where we've been opening  
24 up possibilities for solar and working with local  
25 governments who have done stretch codes to actually include

1 solar, which is currently covered in about 10 percent of  
2 the state. So this is not a radical departure. It's a  
3 step in the right direction to reduce our greenhouse gases  
4 and improve our air, which for many, many decades  
5 California has been doing and doing better and better each  
6 time.

7           So certainly, obviously I'm deeply committed to  
8 this update. And also to cultivating an even larger and  
9 broader pipeline with technologies, so that we have even  
10 more flexibility going forward in future rounds.

11           We need to -- with local governments, I'm  
12 absolutely sure it's happening now, are going to come up  
13 with solutions through the Entitlements Process or the Land  
14 Use decisions that they own, really that are not happening  
15 in this building, but that really are about local  
16 government. To come up with other ways of compliance,  
17 compliance pathways that get us new green energy, either on  
18 the property or out somewhere nearby in the community or  
19 via some other options that they'll come up with. So  
20 there's a lot of creativity, actually out there. And the  
21 future bodes, I think it bodes very well for the future to  
22 continue to reduce costs and continue to figure out how to  
23 get additive green energy in our communities, which is what  
24 it's all about.

25           So again, I think we have these ambitious goals

1 for greenhouse gas reductions. We still have large areas  
2 of the state that are out of attainment and for various  
3 criteria pollutants. And this Building Standard and  
4 buildings are where we spend a majority of our time, inside  
5 buildings. We also need quality indoor air and so all  
6 those things are wrapped up in this Pollutant Code update  
7 at reasonable costs, so really the case for this is  
8 extremely strong.

9           And California, I guess we still believe, we do  
10 believe in climate change, we believe in facts and basing  
11 things on a record. That seems kind of novel in this day  
12 and age, but I think our process is really our strongest --  
13 it's our strongest kind of a statement of how we do  
14 business developing a record, making decisions based on  
15 that record, collaborating with stakeholders and trying our  
16 darnedest to get to some kind of consensus.

17           And I think in this case we've gotten very  
18 disparate stakeholders on board with this, because it's  
19 become clear to all of us that it's the right thing to do  
20 and that the marketplace is ready.

21           I know that the builders can build beautiful,  
22 healthy, high-performing solar homes. They've already been  
23 doing it. And so this codifies that in a way that the  
24 State of California, in terms of our policy goals, can  
25 leverage in a way that helps our citizens.

1           So anyway, that's my overall just comment on  
2 this, because I think it's important to put it in  
3 perspective and really sort of tie it in with a lot of the  
4 other things that are happening in the state. But I'll  
5 pass it off to my fellow Commissioners.

6           COMMISSIONER HOCHSCHILD: Well, thank you. I  
7 just really wanted to acknowledge our Commissioner  
8 McAllister for your careful, thoughtful and thorough  
9 stewardship of this really complex standard. This is a  
10 very bold and visionary step we're taking today.

11           And I just want to acknowledge the fact that the  
12 fifth largest economy in the world is adopting this  
13 standard really sends a message. We'll be the first state  
14 in the United States to adopt a zero net electricity  
15 standard. Certainly, we will not be the last. And just as  
16 other efficiency and renewables' policies we've adopted  
17 have spread I absolutely expect this to spread to other  
18 states and regions.

19           Well, I really want to acknowledge the staff,  
20 Mazi, Payam, Martha, Chris, Peter and everyone else who  
21 worked on this. This is a landmark vote today.

22           I just wanted to set a little bit of a context  
23 okay, because in addition to our clean air goals and the  
24 mandate to address climate change one of the top priorities  
25 in California is to keep people in their homes. And when

1 you look at how defaults happen, more times than you would  
2 expect what we find is that the homeowner can afford the  
3 mortgage, but not the mortgage plus the energy bill. That  
4 is the difference maker. And what we're doing today is  
5 going to result in the lowest energy bills of any code  
6 we've ever done. And I think it's going to have that  
7 benefit as well. We cannot let Californians be in homes  
8 that are essentially the residential equivalent of gas  
9 guzzlers. And this really puts us on a path to a more  
10 efficient future.

11 I also want to set the context for what's  
12 happening with solar costs. Okay, so the price of a solar  
13 panel has gone down 99 percent since 1980, where a panel  
14 was \$75 bucks a watt. We're at 40 cents today. And I just  
15 returned last week from a meeting with the National  
16 Renewable Energy Lab and all of the top global solar PV  
17 manufacturers. There is a lot more cost reduction to go on  
18 everything from improvements to the glass, the thickness of  
19 the cell, the kerf loss with the diamond wire saws, the  
20 efficiency. And so what we've seen is every time global  
21 demand is doubled the price of solar PV has gone down 24  
22 percent. I believe that trend will continue. We're  
23 adopting this in May of 2018. It goes into effect January  
24 of 2020. The price is going to keep going down. We'll get  
25 more and more affordable.

1           This policy today also would not be possible  
2 without the New Solar Homes Partnership Program, which is a  
3 \$400 million incentive program. We worked very closely  
4 with Bob Raymer and the builders on this program. And  
5 we're wrapping it up at the end of this month. That has  
6 really helped seed the market and develop economies of  
7 scale out there today, as well as the seven cities that  
8 have adopted solar mandates of one form or another. I just  
9 want to acknowledge Lancaster, Fremont, Davis, San  
10 Francisco, San Mateo, Santa Monica and Brisbane have all  
11 gotten out ahead and showed that this can work.

12           And then finally, I believe actually we'll end up  
13 -- this policy will end up also reducing long-term  
14 customers transportation costs. We require the EV-ready  
15 Code for 100 percent of single-family homes today. That  
16 means you have a dedicated 240-volt print circuit in the  
17 box, in the panel. And you run the conduit. We're not  
18 requiring installing the charger or the wire yet, but it  
19 costs about half the cost-per-mile to drive an electric  
20 vehicle as compared to an internal combustion engine. And  
21 as we are transitioning to cleaner and cleaner vehicles, we  
22 have 400,00 EVs on the road today, these solar rooms are  
23 going be powering people more affordably to get around.

24           And one final point I'd make, about a year ago,  
25 the NREL and the ISO collaborated on a landmark study

1 looking at the grid benefits that a large-scale PV project  
2 could provide you to -- it was a 300-megawatt-for-solar  
3 utility scale project - and the ancillary service is  
4 including spinning reserves, load-following voltage  
5 support, ramping, frequency response and so on and there  
6 were amazing results. I think it surprised everybody who  
7 conducted the study.

8           As we go forward, what's happening is now we're  
9 putting smart inverters in all these systems, with voltage  
10 regulation and telemetry. And there's actually no reason  
11 why a network of many tens of thousands of solar roofs  
12 can't provide the same services. Solar needs to be and  
13 will be a good citizen of the grid in the same way that  
14 we're seeing the possibilities with these utility-scale  
15 solar projects. So I actually think long-term this is  
16 going to help us improve grid reliability.

17           So for all those reasons I am delighted to  
18 support this. And I really want thank and congratulate  
19 Commissioner McAllister again.

20           COMMISSIONER DOUGLAS: So as I consider this  
21 issue I really bring a perspective to it that's colored by  
22 my role as the Lead Commissioner on power plant siting.  
23 And I've been on at this point 40 power plant siting cases  
24 or amendments in my time on the Commission. And that work  
25 has taken me --

1                   COMMISSIONER MCALLISTER:  God bless you.  Yeah.

2   (Laughter.)

3                   COMMISSIONER DOUGLAS:  -- that work has taken me  
4 to communities all around the state where we've had the  
5 dialogue and we've heard views on electricity system  
6 reliability and what it takes to maintain reliability,  
7 alternatives to power plants, the role of different kinds  
8 of policies, energy efficiency, demand response,  
9 distributed generation.

10                  And, you know, I've really heard the support  
11 around the state for California to continue to move in the  
12 direction of more energy efficiency, more distributed  
13 photovoltaic and rooftop PV and other solar and other  
14 renewable energy, more battery storage, especially when  
15 people really understand that it's pairing renewable energy  
16 generation with storage that allows us to begin to displace  
17 the need for certain kinds of grid services, like those  
18 provided by peaking natural gas plants.

19                  And so for a lot of reasons I think that this set  
20 of standards both by improving energy efficiency in  
21 buildings, which is our bread and butter of the Energy  
22 Commission, and also requiring cost-effective measures like  
23 photovoltaic in this instance.  And promoting like at least  
24 having EV-ready houses, so that when you get excited about  
25 getting your first electric vehicle you aren't shocked by

1 how difficult it is to actually charge it at your home, for  
2 example. And by using optional compliance alternatives to  
3 promote technologies that are going to be really important  
4 to us that we need to begin to figure out how to integrate,  
5 like batteries -- which, as we move forward and our  
6 electricity system evolves, as one of the public speakers  
7 said earlier, really will -- or maybe it was a staff  
8 presentation -- but really will be how you can use the  
9 batteries and the photovoltaic in your home to take  
10 advantage of and really be able to optimize and reduce your  
11 bills with time-of-use rates, for example.

12           So I think these standards very much go in the  
13 right direction. They also -- I looked closely at the cost  
14 and benefit numbers and appreciated the staff presentation  
15 on that. I think that it's really good that they save  
16 people money, not only over the course of ownership of a  
17 house, but month by month in terms of electricity bill  
18 savings versus increased cost.

19           I have over my time seen Commissioner McAllister  
20 lead these standards, appreciated his focus on pragmatic  
21 approaches that can be implemented that simplify the  
22 standards whereas possible to simplify them, that add  
23 flexibility for the builders where it is possible to create  
24 that flexibility, because that is also how we get better  
25 compliance and better outcomes and better buildings for

1 people to buy and live or work in.

2 So I'm in strong support of these standards.

3 Thank you.

4 COMMISSIONER SCOTT: I am also in very strong  
5 support of these standards. I don't want to be too  
6 repetitive of what you've already heard from my fellow  
7 Commissioners, but I have very similar thoughts and  
8 reflections to what you have just heard them articulate, so  
9 I will echo the comments of my fellow Commissioners.

10 You know, the 2019 Building Standards really  
11 continue to move our state forward in a thoughtful and  
12 meaningful way on many fronts: on energy efficiency, on  
13 indoor air quality, on climate, on being EV ready. I mean,  
14 it's very exciting to be on the cutting edge in this way,  
15 but in a really smart way, right? Where the costs and the  
16 benefits, it's very thoughtful; it's just very well done.

17 So Commissioner McAllister, I want to say thank  
18 you so much to you for your leadership and vision on this.  
19 I also want to say thank you to our team for the great work  
20 that they have done. As the Public Member on the Energy  
21 Commission I am always cheered to hear throughout the  
22 public comments the great public process that we have in  
23 place for developing this. I appreciate the way that the  
24 staff takes time to listen, be thoughtful, really encourage  
25 all kinds of participation and take in the best information

83

1 and come up with the best solutions. And so I am always  
2 cheered when I hear about our great public process, as  
3 well. So thank you to you and to the staff for making sure  
4 that that happened on something as important as our 2019  
5 Building Standards. I'm in strong support.

6 CHAIRMAN WEISENMILLER: Yeah. I want to echo a  
7 few things. I mean, obviously, in the past eight years  
8 California has gone from about the tenth largest economy in  
9 the world to the fifth largest economy. And we've grown  
10 our economy at the same time we've reduced our greenhouse  
11 gas emissions. And certainly, these standards are a key  
12 tool to continue that transformation.

13 But it's not simply this adoption today that  
14 starts a process. I want to discourage everyone from  
15 jumping into the well, let's look at the next round. We  
16 have to implement these things, you know? (Laughter.)

17 I mean, Bob Raymer is sitting there. I remember  
18 my first year in the Commission we had all kinds of people  
19 coming in and saying, "The Standards you adopted last year,  
20 where are all the things you said you were going to do that  
21 you haven't done?" And so what I'm saying is that this is  
22 just a milestone. There's a hell of a lot of work to go  
23 between now and 2020 and we really have to keep our eye on  
24 the ball to make this work smoothly. And I'm very  
25 comfortable that Commissioner McAllister and his staff will

1 continue to work with our partners in the building industry  
2 and their suppliers to make this go smoothly. There will  
3 be some surprises and we will need to stay on top of this.  
4 But the bottom line is we're going to stay focused on  
5 making this happen and happen smoothly. And once we get  
6 there, yeah, we can talk about the future.

7           But the current focus is make this happen and  
8 make it happen, so that we can help Californians save money  
9 and reduce greenhouse gas emissions. And really continue  
10 to have a very vibrant building industry in California and  
11 provide those options to our citizens. So I certainly  
12 support this.

13           COMMISSIONER MCALLISTER: I wanted to just make  
14 one more comment. So there's a longer-term plan. Every  
15 three years we sort of get this snapshot and we have a  
16 robust discussion about sort of the profile of what we  
17 worked on this round, right? And I wanted to -- and well,  
18 certainly this round will be focused on single-family  
19 residential and low-rise multifamily. That's the sort of  
20 piece that we really focused on, probably because we had  
21 this 2020 goal for sure.

22           So next round, just to get ahead of the  
23 compliance options and add the compliance to the materials  
24 development process, next round three years from now we're  
25 going to -- in the next six months or so we'll get started

85

1 on this -- we're going to focus on multifamily, larger  
2 multifamily and commercial.

3           So the multifamily in particular has been sort of  
4 a neither fish nor fowl, sort of. It's has to pick from  
5 pieces across the Building Code. And it really deserves  
6 better treatment, deserves more sort of consistent and  
7 organized treatment. And I think we're hearing that very  
8 strongly from the multifamily community. And we want to  
9 deliver that, not develop a whole new piece of the code  
10 sort of specifically for multifamily, but just some  
11 guidance that allows them to navigate the code. In  
12 developing those projects which are, particularly for low  
13 income they are very complex projects to put together. So  
14 we want to aid that process along with all the other things  
15 that we planned, are doing, and plan to do for the  
16 multifamily sector.

17           And then large commercial has a lot of savings  
18 opportunities there as well. And we're going to -- the  
19 commercial sector is kind of due for a close look, so we  
20 are going to do that.

21           I did want to build on what the Chair just said.  
22 So there are a number of steps. We have to get in front of  
23 the Building Standards Commission with the whole package of  
24 the Code Update. And once we get through them with a  
25 positive vote, before then and then certainly after, in

1 earnest we develop all the compliance materials for the  
2 code. And so, small things like that aren't clear or that  
3 kind of are more management or administrative in nature,  
4 those can be clarified or worked out largely in that  
5 process. And so this sort of those -- where the rubber  
6 hits the road, that's kind of what we'll have to care  
7 about. "Oh this isn't clear." Well, we can make it clear  
8 in that process.

9           So I would encourage all the stakeholders that  
10 have specific interests, specific products technologies  
11 that they want to make sure are understood by our -- are  
12 seen to be understood. And that they're clearly described  
13 in the compliance materials, that they continue to engage  
14 with staff as those materials get developed.

15           So again, thanks to my fellow Commissioners for  
16 all the positive comments. I'm really happy to be getting  
17 this to the finish line. And one big step for mankind I  
18 guess, really so anyways.

19           MR. STRAIT: So I'm going to jump in really quick  
20 just to remind us this is a complicated thing. That staff  
21 recommend the following motion language. This reads, and  
22 this is a script that we have prepared, "We move Item 2 as  
23 follows: 1) The Initial Study and Negative Declaration for  
24 the 2019 Update, including its Addendum. 2) The 2019 Update  
25 to the Building Energy Efficiency Standards, California

87

1 Code of Regulations, Title 24, Part 6, the associated  
2 administrative regulations in California Code of  
3 Regulations, Title 24, Part 1, except for first any changes  
4 to Section 140.5(b) and any additional changes made during  
5 the 15-day language to Sections 120.1(b)1(a)1, 120.1(c)1(a)  
6 and 150.0(m)12(a)1 as further described in the Resolution.  
7 3) The associated appendices as the joint residential and  
8 non-residential reference appendices, as well as the  
9 Alternative Calculation Method Approval Manual and its  
10 appendices. 4) The Errata provided to you and to the  
11 public prior to today's meeting, which contains corrections  
12 of various typographical, drafting and other drafting  
13 errors in the update and 5) The Resolution inclusive of the  
14 nine-point criteria.

15 COMMISSIONER MCALLISTER: Great. So moved.

16 COMMISSIONER HOCHSCHILD: Second.

17 CHAIRMAN WEISENMILLER: All those in favor?

18 (Ayes.)

19 CHAIRMAN WEISENMILLER: This submission was  
20 adopted 5-0. Thank you.

21 MR. STRAIT: Thank you, Commissioners.

22 (Applause.)

23 CHAIRMAN WEISENMILLER: Okay, so we're going to  
24 continue on to Item 5. Anyone who wants to catch  
25 Commissioner McAllister now can do that. The four of us

1 are going to deal with Item 5, Food Processors, please. I  
2 need Virginia Lew now, for example.

3 UNIDENTIFIED SPEAKER: I think Laurie is over in  
4 the overflow room, so if you give her a minute to get here?

5 CHAIRMAN WEISENMILLER: Yeah, track her down.

6 (Off mic colloquy re: lunch and schedule.)

7 CHAIRMAN WEISENMILLER: Okay, so we're going out  
8 of order. We're going to go back to 3 and 4, which are  
9 items of Commissioner McAllister. We're going to deal with  
10 5 now. So, go ahead. Yeah, do it.

11 MS. TEN HOPE: Just barely good morning, Chair  
12 and Commissioners. I'm Laurie ten Hope Deputy Director of  
13 R&D. And I'm joined today by Virginia Lew, who is the  
14 Office Manager for Energy Efficiency Research. And we're  
15 here today to consider the Food Production Investment  
16 Program Guidelines for adoption.

17 I'm going to provide just a little bit of context  
18 for this program. And then I'm going to turn it over to  
19 Virginia Lew, who will walk through the guidelines.

20 I want to bring your attention before I start to  
21 the Commissioners and anyone in the audience who's  
22 interested in this item, we are also asking for your  
23 consideration of an Errata. The Errata is available at the  
24 back of the room on the table. And we'll also have a  
25 PowerPoint Slide that will summarize the Errata.

1           So in terms of context, last year as part of the  
2 Budget Process included in the GGRF Program was an  
3 allocation for the Food Production Investment Program. And  
4 the Governor's Office established a taskforce to create a  
5 dialogue between industry and agencies as a foundation for  
6 what the needs were in the food producer industry. And  
7 that taskforce and working group activities provided a  
8 baseline understanding between agencies that are already  
9 providing incentive programs, identifying what's available,  
10 what the gaps are, and also what industry is identified as  
11 the technologies that they have already installed and what  
12 some of the technology needs are.

13           That working group process informed our staff's  
14 understanding of what the needs are and provided the  
15 foundation for the development of the guidelines and the  
16 public process, public process for developing the  
17 guidelines.

18           So if we move to the next slide, food producers  
19 are a super-important part of the California economy. They  
20 are the third largest manufacturing sector in California.  
21 They provide over \$80 billion of contribution to the  
22 California economy. And part of that is as a job provider.

23           Part of that contribution to our economy results  
24 in a significant energy use and accompanying their energy  
25 use is GHG impact. And this program is really designed to

1 keep food producers competitive and to also result in GHG  
2 reductions; more efficient processes and GHG reduction.  
3 Next slide, please.

4           So this program was developed as part of the  
5 Budget Act of 2017, AB 109. The quote here is basically  
6 the language. It's the whole framework for the program, so  
7 the context is pretty straightforward, "That this program  
8 shall be used to provide grants, loans or any financial  
9 incentives to food producers to implement projects that  
10 reduce greenhouse gas emissions."

11           So the Budget Act established \$60 million for  
12 this program. And the guidelines before you are really  
13 designed to save energy and reduce GHG.

14           As I mentioned in the beginning it was heavily  
15 informed by the taskforce and then by the public process.  
16 At the beginning, if you'll just indulge for a second, I  
17 just want to call out some of the industry members that  
18 were really active in the development of the guidelines.  
19 They include The Agricultural Council of California, the  
20 California League of Food Producers, Foster Farms, Campbell  
21 Soup, Hilmar Cheese, California Cotton Ginners, California  
22 Dairies, Land Of Lakes, Morning Star, Pacific Coast  
23 Producer, the Wonderful Company, the Stanislaus Food  
24 Products Company, and West Coast Advisors.

25           The process was also informed by researchers, by

1 technology developers and sister agencies, including the  
2 Air Board, the CPUC, the California Department of Food and  
3 Agriculture. We couldn't have gotten to this point without  
4 the contributions of the various members.

5           So on the next slide are the program goals.  
6 Basically, reduce GHG; adopt commercially available  
7 advanced technologies, and part of that, the complement to  
8 that, is to increase the confidence the technologies work  
9 and then do the tech transfer to bring those technologies  
10 to a broader -- to more facilities and increase the  
11 adoption.

12           There's also an element to benefit priority  
13 populations that are defined by the Air Board, and  
14 basically looking at populations of disadvantaged  
15 communities, low-income communities and low-income  
16 households. A very high percentage of the food producer  
17 facilities are in priority populations, so an ancillary  
18 benefit of this program will be to bring some GHG reduction  
19 to communities that are most in need.

20           So with that context I'd like to turn it over to  
21 Virginia Lew, who will walk through the guidelines that are  
22 in front of you.

23           MS. LEW: Okay, can we have the next slide,  
24 please?

25           So the purpose of the guidelines is to provide

1 information on how the program will be structured, what  
2 sort of technologies would be eligible and what criteria  
3 will be used to evaluate applications. We will be  
4 releasing grant solicitations periodically and these will  
5 be in conformance to the guidelines. Can we have the next  
6 slide, please?

7           So as Laurie mentioned, the eligibility to this  
8 program is limited to all food processors. And these are  
9 food processors that are defined by the North American  
10 Industry Classification system of codes that you see here.  
11 And this is limited to food and beverage industry. The  
12 applicant must be a food processor, the facility must be  
13 located in California and the project must have GHG  
14 emission reductions. Next slide, please.

15           We have two funding categories for this program.  
16 Tier I is focused on commercially-available technologies  
17 that are drop-in replacements or additions to current  
18 systems. And that they result in greenhouse gas emission  
19 reductions and have higher efficiency than current industry  
20 practices and standards.

21           So Tier II, if we can go to the next slide,  
22 focuses on adoption and demonstration of cutting-edge,  
23 emerging technologies. And these are not drop-in ready  
24 technologies, they are not widely used in California, but  
25 they've been proven elsewhere to reduce greenhouse gas

1 emissions.

2 In both Tier I and Tier II we've created an  
3 "other" category to allow the potential of funding other  
4 technologies that are not listed in our guidelines, and so  
5 long as they meet the criteria that we stated here in each  
6 one of the slides. So can we go to the next slide?

7 So this slide shows the proposed funding  
8 allocations, items that would be eligible for the grant.  
9 And also, the maximum grant amounts.

10 For Tier I we can provide up to 100 percent of  
11 all the program funds to this tier. And for Tier II it  
12 could be up to 50 percent. And for both tiers the grant  
13 will cover the cost of the equipment in any measurement and  
14 verification. And for Tier II, in addition, we are also  
15 providing funds for engineering design.

16 The estimated award size is shown here and the  
17 maximum grant amount for Tier I is 65 percent of the  
18 eligible costs. And for Tier II it's 85 percent of the  
19 eligible costs. You'll note that no installation cost is  
20 being allowed for either one of the tiers. And that  
21 technologies that are eligible for Tier I are not eligible  
22 for Tier II, and vice versa. And we go to the next slide.

23 So this slide talks about how we're going to  
24 handle bundling of technologies within a facility as well  
25 as bundling amongst related facilities owned by the same

1 company. So under Tier I, we're allowing bundling of  
2 technologies within the same facility, as well as bundling  
3 of multiple facilities within the same company in one  
4 application. Tier II, we're only allowing the bundling to  
5 occur within the applicant facility. And no bundling  
6 allowed in multiple facilities.

7 And so we've also set aside a priority for  
8 funding. And so for Tier I the first priority will go to  
9 capped facilities. And these are facilities that emit more  
10 than 25,000 metric tons of CO2 annually, as determined by  
11 the California Air Resources Board, along with facilities  
12 under the same ownership. So they would have the first  
13 priority for funds.

14 The second priority would go with facilities that  
15 have to report annually to the California Air Resources  
16 Board, but they are less than 25,000 metric tons. They  
17 emit less than 25,000 metric tons a year. And they can be  
18 bundled together with facilities under the same ownership.

19 And for Tier II the priority goes to the capped  
20 facility, number one priority. And the second priority  
21 goes to facilities that need to report their emissions to  
22 the Air Resources Board but emit less than 25,000 metric  
23 tons a year. Can we go to the next slide?

24 So we have our selection criteria. We'll look at  
25 two phases here. In the first phase we will do an

1 application screening. And this is looking at the  
2 administrative requirements and this pass-fail. And all  
3 the requirements have to pass in order to move in to the  
4 technical scoring phase.

5 In the technical scoring phase there are four  
6 main criteria. And so the first one looks at the technical  
7 merit and need justification for why the project is needed  
8 and how it fits within each of the tiers.

9 The second criteria is looking at the technical  
10 approach. And this is looking at some of the factors that  
11 would result in a successful project and how the project  
12 and the approach to achieve the completion of the project  
13 within the term of the agreement. And how the results from  
14 the project will be shared amongst other food processors

15 The third criteria, impacts and benefits, is  
16 going to look at the amount of GHG emissions reduced from  
17 each project. And will also compare the amount of funding  
18 that the state is providing relative to the amount of GHG  
19 emissions reduced.

20 The fourth criteria we've already discussed in  
21 the previous slide regarding capped and uncapped  
22 facilities.

23 And if the applications pass the minimum scoring  
24 requirements for all these four criteria, then we also have  
25 these two optional criteria that would be added on to the

1 overall points. And the first one deals with proposals  
2 that meet all the requirements of being located in, and  
3 addressing the need and benefiting priority populations.  
4 And so these are populations that Laurie mentioned earlier  
5 that are in disadvantaged communities and low-income  
6 communities. And the second criteria looks at equipment  
7 that is purchased from California vendors. Can we go to  
8 the next slide, please?

9           And this, we've set aside provisions in the  
10 guidelines to allow for additional funding rounds. So if  
11 we don't allocate all of the funds in the first round we  
12 can just roll it in to the second round. And also allocate  
13 funds from that may be added to the program later on.

14           And the Energy Commission reserves the right to  
15 do all these areas listed here, such as limiting the size  
16 of the grant per application as well as narrowing the  
17 specific pool of eligible projects. Can we go to the next  
18 slide?

19           And so this is the Errata that Laurie had  
20 mentioned previously. And so, there's an Errata Sheet at  
21 the back of the table. And so this Erratum allows for  
22 consideration of technologies that reduce other types of  
23 fossil fuels besides electricity and natural gas. And this  
24 change was something that we had already decided that we  
25 were going to do, but it was just inadvertently omitted as

1 an oversight. And so now, this page here outlines the  
2 chapters that we are adding fossil fuels as an additional  
3 element. Can we go to the next slide, please?

4 So this slide shows our tentative schedule. And  
5 if the guidelines are approved today then we plan to  
6 release this solicitation by the end of the month. And  
7 also have grant applications due by the end of summer, with  
8 awards coming to the Business Meeting at the end of the  
9 year. Go to the next slide, please.

10 So all this work couldn't have been accomplished  
11 without many of our dedicated Energy Commission staff that  
12 are listed here. And so I really appreciated all of their  
13 help and diligence in helping to achieve our deadlines.  
14 Can we go to the next slide, please?

15 And so this is a slide that shows where you can  
16 get more information about our program and also to sign up  
17 for the docket and also to sign up for the Listserv.

18 And so that concludes our presentation. And we  
19 really appreciate your support of adopting our guidelines  
20 and also the Errata from today's business meeting. Thank  
21 you very much.

22 CHAIRMAN WEISENMILLER: Thank you. Thanks for  
23 the presentation.

24 We have some public comment, so let's start with  
25 the Ag Energy Consumers Association.

1 MS. DUNLAP: Hello, I'm Maddie Dunlap with West  
2 Coast Advisors on behalf of the Ag Energy Consumers  
3 Association as well as the California Poultry Federation.

4 And many of our members are food processors who  
5 are subject to Cap and Trade, so we would just emphasize  
6 the importance of this program, especially as it applies to  
7 those businesses under the cap, so that they may meet the  
8 robust climate change goals that California has while  
9 continuing to remain competitive.

10 We also submitted some written comments that have  
11 some more detailed comments on the process and the program,  
12 so thank you.

13 CHAIRMAN WEISENMILLER: Thank you. All right,  
14 California League of Food Producers.

15 MR. NEENAN: Good morning. I'm Rob Neenan. I'm  
16 President of the California League of Food Producers in  
17 Sacramento. We're a statewide trade association that  
18 represents the \$82 billion food-processing industry in  
19 California.

20 We appreciate the opportunity to speak this  
21 morning. And the main thing I wanted to convey is what a  
22 great job staff did on this project. They worked very  
23 hard, they took stakeholder input and we think you're  
24 heading in the right direction with this program.

25 Food processing is the third largest user of

1 natural gas in this state amongst industrial users. I'm  
2 sorry, third largest in electricity, second largest in  
3 natural gas. And there are about 40 food processors who  
4 are currently in the Greenhouse Gas Cap and Trade Program  
5 run by CARB. So going forward this program could be a  
6 really great resource for those companies.

7           But as you know, CARB has a very aggressive goal  
8 to reduce greenhouse gas emissions. And how a typical food  
9 processor is going to be able to their reduce greenhouse  
10 gas emissions by 40 percent by 2030 is going to be  
11 interesting. It's only 12 years away and to be able to do  
12 that and still run their operations will be a challenge.  
13 So our members will have to spend a lot of money on new  
14 systems and hoping that new technologies come along to help  
15 them move forward and remain competitive in the global  
16 marketplace.

17           The only comment I have on the proposal is that  
18 the guidelines allow food processors to obtain matching  
19 money from utilities; it was described in their  
20 presentation. But we've had an issue in the last few years  
21 where our members have applied for utilities for custom  
22 project funding, that those projects are held up for long  
23 periods of time and maybe eventually not even approved.  
24 And given the short timeline that this project is going to  
25 move forward, the FBIP, it's going to be critical that we

1 have collaboration by the utilities and by the Public  
2 Utilities Commission, so companies can obtain those matched  
3 funds. So we urge staff to work with our members on that  
4 issue.

5 So just in conclusion we look forward to working  
6 with the Energy Commission staff to make this program a  
7 success. And to bring some great success stories back to  
8 the Board. And we also hope that this funding will  
9 continue into future years. We know that isn't necessarily  
10 your decision, but we certainly hope it'll continue in the  
11 future. Thank you.

12 CHAIRMAN WEISENMILLER: Thank you. Thanks for  
13 being here.

14 Foster Farms.

15 MR. BOWER: Thank you, Tom Bower with Foster  
16 Farms. First and foremost, I want to thank the CEC on all  
17 the help and what they put forth in these guidelines,  
18 listening to stakeholder comments and really trying to get  
19 this final draft right. And I want to specifically mention  
20 Laurie and Virginia and their staff sitting over here, just  
21 a wonderful job of working that process through.

22 At Foster Farms we supported Cap and Trade, the  
23 extension late last year, and this funding was a big part  
24 of part of it. It helps us, as Laurie mentioned in the  
25 opening comments, to remain competitive not only with our

1 out-of-state competitors who may not be facing some of  
2 these same climate policies, but also to remain competitive  
3 in providing quality products and protein to many  
4 households up and down the State of California in a cost-  
5 effective manner. So this funding goes a long way in  
6 helping that.

7 So again, we wanted to just say thank you. And  
8 we fully support these guidelines and the errata that was  
9 proposed this morning. Thank you.

10 CHAIRMAN WEISENMILLER: Thank you.

11 Tod O'Connor.

12 MR. O'CONNOR: Good morning Mr. Chairman and  
13 members of the Commission. My name is Tod O'Connor. I'm a  
14 Senior Policy Advisor for CLEAResult. CLEAResult is an  
15 energy efficiency services firm with over 240 utilities and  
16 their customers, as our customers, and we have a  
17 significant presence in California.

18 We strongly support and urge the adoption of the  
19 program and these guidelines. We do appreciate the  
20 collaborative effort of all the stakeholders, especially  
21 CEC staff as well as the leadership by Commissioner  
22 McAllister.

23 We did have a concern about the issue of utility  
24 incentives. That was raised already by the League. I will  
25 save time by not repeating it, but I do ask that you take a

1 look at SB 1131 being proposed by the California Energy  
2 Demand Management Council. That's going to put a framework  
3 around how these custom projects will be guided by the PUC,  
4 so hopefully they will give a -- they will provide guidance  
5 on these projects in time to be considered for this  
6 program. I thank you for your time.

7 CHAIRMAN WEISENMILLER: Thank you.

8 Any other public comment, either in the room or  
9 on the line?

10 (No audible response.)

11 CHAIRMAN WEISENMILLER: Okay, let's transition to  
12 the Commissioners. I certainly want to thank Laurie and  
13 Virginia and your staff for really pushing this forward as  
14 Lead Commissioner on R&D. Certainly, it's important to  
15 work with the food processing industry to bring innovation  
16 into this area. Obviously we cannot speak for the PUC on  
17 stuff. I think certainly we can talk to some of the  
18 Commissioners, but whether or not that will any impact,  
19 we'll see.

20 So anyway, I think this is a great program. I  
21 think it's important we move in a timely fashion, so we can  
22 deal with the realities of people's other requirements to  
23 work it out in the fields, so any other comments?

24 COMMISSIONER DOUGLAS: Well, just briefly I think  
25 this is a real opportunity to bring energy savings and help

1 support our climate goals and support some of the food  
2 processing industries in California as they work to meet  
3 those climate goals. So I'm in strong favor. I'll move  
4 approval of this item.

5 COMMISSIONER SCOTT: Second.

6 CHAIRMAN WEISENMILLER: All those in favor?

7 (Ayes.)

8 CHAIRMAN WEISENMILLER: This passes 5-0.

9 Commissioner Scott, do you want to make the  
10 announcement about the auto that's outside?

11 COMMISSIONER SCOTT: Yes. We have outside the  
12 Commission until 1:00 o'clock and ride-and-drive. So if  
13 you would like to try out a Honda Clarity or a Toyota Mirai  
14 fuel-cell electric vehicle please go and give one of those  
15 a ride. We've also got a Bolt, a battery-electric vehicle  
16 and a Volt plug-in hybrid electric vehicle. So, a chance  
17 to try out all of the ZEV technologies and that's just  
18 right out in front of the Commission.

19 CHAIRMAN WEISENMILLER: Great. So we're going to  
20 take a recess. We'll be back at, I'm going to say maybe  
21 1:00 o'clock. Or we'll do 1:00 o'clock, and basically  
22 encourage people -- at that point we're going to pick up  
23 Items 3 and 4, which we held and then we'll move on to the  
24 rest of the items probably more less in sequence.

25 (Off the record at 12:19 p.m.)

1 (On the record at 1:04 p.m.)

2 MR. LOYER: Good morning or good afternoon  
3 Commissioners, chair, Joe Loyer, Senior Mechanical Engineer  
4 of the Efficiency Division. I am here to present for your  
5 consideration the California State Pipe Trades Council,  
6 CSPTC's 2016 Update to its approved application as a  
7 Nonresidential Mechanical Acceptance Test Technician  
8 Certification Provider or ATTCP.

9 A mechanical acceptance test is a functional test  
10 required by the Energy Standards on newly installed  
11 mechanical systems, to ensure these systems work as  
12 designed.

13 The Energy Standards allow organizations to apply  
14 to become an ATTCP and to provide technicians with the  
15 training, certification, and oversight to perform  
16 acceptance testing.

17 With the adoption of updated Energy Standards, an  
18 approved ATTCP must submit an update report to the Energy  
19 Commission for approval.

20 CSPTC was approved on September 14, 2016, as an  
21 ATTCP. They submitted their update report on January 10,  
22 2017 and amended it on March 7, 2018.

23 Staff has determined that the substantive  
24 adjustments to the CSPTC quality assurance program meet the  
25 requirements in Section 10-103.2(c)3F of the proposed 2019

1 Energy Standards.

2 Staff has determined that the non-substantive  
3 adjustments to the CSPTC application meet the requirements  
4 under Section 10-103.2(c)3 of the 2016 Energy Standards.

5 Staff has documented its review in a staff  
6 report, which was posted on the Energy Commission website  
7 and made available for public comment on April 17, 2018.  
8 No comments have been received.

9 Staff recommends that the Energy Commission  
10 confirm the Executive Director's findings, adopt his  
11 recommendation, and approve the use of the CSPTC quality  
12 assurance program that meets the requirements of the 2019  
13 Energy Standards, to be used in place of the 2016 Energy  
14 Standards.

15 Additionally, staff recommends that the Energy  
16 Commission approve the CSPTC Update Report to its  
17 application and allow them to implement that application.

18 CSPTC representatives are present today. Thank  
19 you for your consideration. I'm available to answer any  
20 questions you may have.

21 CHAIRMAN WEISENMILLER: Thank you. Please come  
22 on up.

23 MR. PARTCH: Good afternoon. I would just like  
24 the thank the California Energy Commissioners, Joe Loyer  
25 and staff for all of their time and effort regarding the

1 approval of the updates for the 2016 building efficiency  
2 standards and we just want to thank you and we're ready to  
3 go.

4 CHAIRMAN WEISENMILLER: That's great. Thank you.  
5 Any other comments?

6 COMMISSIONER MCALLISTER: Yeah. I'm glad to have  
7 another provider onboard. That's terrific. And I've  
8 gotten a series of briefings along the way from Joe and his  
9 team, so I'm every comfortable with this.

10 And just to remind everybody, as mechanical  
11 systems, particularly in larger buildings, commercial  
12 buildings, get more electronic and get more sort of complex  
13 in many way, and design really matters and actual good  
14 installation really matters and operational quality needs  
15 to be confirmed, the ATTCP Program was established to help  
16 that happen in both lighting and mechanical.

17 And so we're developing a series of -- a group of  
18 technicians that can do all of that stuff and they need to  
19 be trained. And these ATTCPs are where that happens. And  
20 so they're educators and they work with the folks who  
21 actually do the jobs out there in the world that we here at  
22 the Energy Commission hope and expect are quality.

23 And so this link in the chain is an important  
24 aspect of that marketplace. And so we pay close attention  
25 to the applications and try to work as close as we can with

1 the ATTCPs. So we really appreciate your bringing forth  
2 the application and glad that staff found it to be  
3 adequate. So I'm fully in support.

4 Yeah, all right. So I'll move Item 3.

5 COMMISSIONER DOUGLAS: Second.

6 CHAIRMAN WEISENMILLER: All those in favor?

7 (Ayes.)

8 CHAIRMAN WEISENMILLER: Item 3 passes 5-0. Let's  
9 go on to Item 4.

10 MR. LOYER: Commissioners, I'm here to present  
11 for your consideration the Refrigeration Service Engineer  
12 Society's RSES application to become a new non-residential  
13 mechanical acceptance test technician certification  
14 provider, ATTCP. The difference here is RSES is a brand  
15 new applicant. The CSPTC was an update to an existing  
16 approved application.

17 So RSES application was submitted December 12th,  
18 2016 and amended March 6th, 2018. RSES is 501(c)(6)  
19 organization with members in chapters in the United States  
20 and Canada, and with additional technicians routinely using  
21 it's training materials in 50 countries across six  
22 continents.

23 RSES has contracted for two accredited training  
24 centers in California to host the training required for the  
25 certification and testing and training of technicians.

1 Staff has visited both of these proposed RSES facilities  
2 located in Los Angeles and determined that they have the  
3 appropriate training equipment, experience, instructors and  
4 capability to provide all the required training and testing  
5 necessary.

6 Staff is recommending a condition of approval for  
7 this applicant, connecting to the available training  
8 centers in the unlikely event that the contract does  
9 dissolve between RSES and the training center. RSES is to  
10 find new training facilities.

11 RSES has engaged the ESCO Group to provide this  
12 data management services for RSES ATTs, acceptance test  
13 technicians and their employers, ATEs and the completed  
14 certifications of acceptance. Energy Commission staff has  
15 completed a review of the RSES application and determined  
16 that the quality assurance program meets the requirements  
17 of the proposed 2019 Standards and the outcome meets the  
18 requirements of the 2016 Standards.

19 Energy Commission staff has documented its review  
20 and findings in the staff report, which was posted to the  
21 website and made available for public comment on April  
22 17th, 2018. No comments have been received.

23 Staff recommends that the Energy Commission  
24 confirm the Executive Director's findings and draft his  
25 recommendations and approve the use of the RSES quality

1 assurance program that meets the requirements of the 2019  
2 Energy Standards, to be used in place of the 2016  
3 Standards, adopt the Condition of Approval in Appendix 1 of  
4 the Executive Director's recommendation and approve RSES as  
5 an ATTCP to administrate the program described in its  
6 application. RSES representatives are here today. And  
7 thank you for your consideration. I'm available to answer  
8 any questions.

9 CHAIRMAN WEISENMILLER: Great. Thank you.  
10 Do you care to say a few words?

11 MS. SCHIAVO: Thank you, Commissioners. We  
12 appreciate your time and consideration for this becoming  
13 ATTCP providers. We've been training and educating  
14 technicians, contractors and facility managers since 1933.  
15 So we're in the business of doing this and just feel this  
16 is a great fit for us. So we appreciate your  
17 consideration.

18 CHAIRMAN WEISENMILLER: Any other public comment,  
19 either here in the room or on the phone? Okay. Go ahead.

20 COMMISSIONER MCALLISTER: So I wanted to just  
21 make sure. So this is for both the 2016 and the upcoming  
22 2019?

23 MR. LOYER: No, sir.

24 COMMISSIONER MCALLISTER: Oh. Okay. I'm sorry.

25 MR. LOYER: No. This is just the 2016 Standards,

1 but we are borrowing from the 2019 Standards only for the  
2 quality assurance portion.

3 COMMISSIONER MCALLISTER: Okay. I misunderstood  
4 that. That was my expectation, so that's good. So the  
5 same thing I said to the previous item. Thank you for --  
6 sounds like you've got a great skill set and we're happy to  
7 have you expand into California, so great, looking forward  
8 to having you out there in the market place. So I'll move  
9 Item 4.

10 COMMISSIONER DOUGLAS: Second.

11 CHAIRMAN WEISENMILLER: All those in favor?

12 (Ayes.)

13 CHAIRMAN WEISENMILLER: So Item 4 passes 5-0.

14 Thank you. Thanks for being here.

15 MS. SCHIAVO: Thanks so much.

16 CHAIRMAN WEISENMILLER: Let's go on to Item 6.

17 (off mic colloquy.)

18 MR. RANSOM: Good morning Chair and

19 Commissioners. I'll be presenting over here for the ARFVTP

20 ten-year anniversary. My name is Shaun Ransom and I am

21 with the Fuels and Transportation Department here at the

22 Energy Commission. And this year, the Energy Commission is

23 celebrating the 10th anniversary of the Alternative and

24 Renewable Fuel and Vehicle Technology Program, otherwise

25 known as ARFVTP.

1           Through annual investments of up to 100 million,  
2 the ARFVTP helps to advance innovations in low and zero-  
3 emissions transportation and fuel technologies, assists  
4 California meeting its climate goals, improve air quality,  
5 and reduce petroleum dependence. Benefits underserved,  
6 disadvantaged communities and promotes sustained economic  
7 development.

8           To help mark the ARFVTP's anniversary, the Energy  
9 Commission launched a collection of web pages about the  
10 ARFVTP and its accomplishments over the past ten years.  
11 This is our landing page, which is on Energy Commission  
12 website right now. And it has some information and some  
13 exclusive content on the projects that are under ARFVTP.

14           One of the features of the anniversary webpage is  
15 the project showcase, which highlights several of the  
16 program's successes across its funding categories. Once  
17 you're on this page, if you click on any of these  
18 thumbnails, it'll link you to a site that has more content  
19 on the individual projects.

20           The showcase highlights ARFVTP investments, such  
21 as zero emission vehicle infrastructure to expedite  
22 development of conveniently-located fueling and charging  
23 infrastructure for low and zero-emission vehicles.

24           As of April 1, 2018, the Energy Commission has  
25 funded more than 7,500 EV charging stations through the

1 ARFVTP; 7,000 of which have been installed, and 64 retail  
2 hydrogen refueling stations with 34 now operational and  
3 open to the public.

4           The Energy Commission's investments in ZEV  
5 infrastructure through the ARFVTP support the state's  
6 transition to cars with no tailpipe pollution, helping  
7 improve air quality and combat climate change.

8           The showcase also highlights ARFVTP investments  
9 to accelerate advancement and adoption of alternative fuel  
10 and advanced technology vehicles, including low and zero-  
11 emission medium and heavy-duty vehicles.

12           ARFVTP has supported 48 projects to demonstrate  
13 vehicles such as public transit buses, freight, and other  
14 fleet vehicles that produce zero or near-zero emissions.

15           The showcase also highlights ARFVTP investments  
16 to expand in-state production of alternative, low-carbon  
17 renewable fuel from low-carbon pathways. Transitioning to  
18 cleaner-burning, low-carbon biofuels is an important part  
19 of California's efforts to meet its greenhouse gas  
20 emissions reduction goals, improve air quality, and reduce  
21 reliance on petroleum-based fuels.

22           ARFVTP funding has supported 59 projects to  
23 promote the production of sustainable, low-carbon biofuels  
24 within California, with a cumulative annual production  
25 capacity equivalent to more than 130 million gallons of

1 diesel fuel.

2           The showcase also highlights ARFVTP investments  
3 to support manufacturing and workforce training to help  
4 meet the needs of the state's growing clean transportation  
5 and fuels market.

6           Through the ARFVTP, the Energy Commission has  
7 supported 21 manufacturing projects.

8           Proterra used an ARFVTP grant to build a facility  
9 in the City of Industry that is estimated to manufacture  
10 and sell 424 buses in the lifetime of the grant, reducing  
11 more than 900 million pounds of carbon dioxide. Buses  
12 manufactured in this facility are already operating in  
13 Fresno County, the city of Stockton, the San Gabriel and  
14 Pomona Valleys, and other communities in the state.

15           ARFVTP funding has also supported workforce  
16 training for over 17,000 trainees and more than 270  
17 businesses that translate clean technology investments into  
18 sustained employment opportunities.

19           The ARFVTP 10th anniversary celebrates our  
20 continued effort to provide alternative fuels and  
21 technologies to California's diverse transportation  
22 portfolio. Working with state and local government  
23 partners, as well as private stakeholders the ARFVTP has  
24 advanced innovations that are transforming California's  
25 transportation landscape, setting a course to ensure all

1 Californians have access to clean mobility options.

2 As the ARFVTP's anniversary continues, the  
3 anniversary webpage will continue to add content  
4 highlighting the program's successes. And I'd just like to  
5 reiterate that we have a ride-n-drive going on outside  
6 today. Feel free if you have some time to test drive one  
7 of the ZEV vehicles we have out there.

8 Thank you. And I am available to answer any  
9 questions.

10 CHAIRMAN WEISENMILLER: Thank you for this  
11 presentation.

12 So first any comments or questions from the  
13 audience or on the phone?

14 (No audible response.)

15 CHAIRMAN WEISENMILLER: Commissioner Scott.

16 COMMISSIONER SCOTT: Yeah, great. Thank you very  
17 much Shaun for the overview of ARFVTP and our 10th  
18 anniversary. I wanted just a chance to kind of highlight -  
19 -

20 (Audio briefly cuts out.)

21 COMMISSIONER SCOTT: Okay. So thank you to Shaun  
22 for the terrific presentation about our ARFVTP and 10th  
23 anniversary of the program, just a nice opportunity to  
24 highlight some of the successes as we roll into considering  
25 the Investment Plan.

1           And I want to say thank you to Shaun and the  
2 transportation team and also to our media team for really  
3 putting together a nice showcase of the projects that we've  
4 funded over the last ten years. And I'm excited to see  
5 what the next ten years bring.

6           So this is just an informational item, so we'll  
7 role on to the next one.

8           CHAIRMAN WEISENMILLER: Let's go on to Item 7.

9           MR. ORENBERG: Good afternoon, Chairman and  
10 Commissioners. My name is Jacob Orenberg and I'm the  
11 Project Manager for the 2018-2019 Investment Plan Update  
12 for the Alternative and Renewable Fuel and Vehicle  
13 Technology Program, or ARFVTP.

14           Today, we are seeking your approval of this  
15 Investment Plan Update. If approved, the current Lead  
16 Commissioner Report version will be reissued as a Final  
17 Commission Report. And this document will serve as a guide  
18 for the program's funding solicitations and awards in the  
19 coming fiscal year.

20           The ARFVTP was established by California Assembly  
21 Bill 118 in the year 2007. The program was set up to  
22 develop and deploy innovative technologies that transform  
23 California's fuel and vehicle types to help attain the  
24 state's climate change policies. In addition, the program  
25 has complementary goals of improving air quality,

1 increasing alternative fuel use, reducing petroleum  
2 dependence and promoting economic development.

3           The annual Investment Plan Update serves as the  
4 basis for the program's funding opportunities and  
5 agreements for each fiscal year. The allocations described  
6 in the Investment Plan are for general project categories  
7 and provide an overview of the status of the fuel or  
8 technology and its' potential. The specific requirements  
9 of what we will ultimately fund are determined by each  
10 funding solicitation and not by the Investment Plan.

11           California has enacted a number of recent laws  
12 and regulations in its efforts to combat climate change,  
13 including the ones listed on this slide. Perhaps most  
14 notable of these are AB 32 and SB 32, which set statewide  
15 greenhouse gas emission reduction targets. To outline the  
16 approach that California will take to achieve these  
17 targets, the California Air Resources Board developed a  
18 Climate Change Scoping Plan. Similarly, Senate Bill 1383  
19 and the California Short-Lived Climate Pollutant Reduction  
20 Strategy set targets to reduce emissions of pollutants such  
21 as methane. Other state policies, such as the Low-Carbon  
22 Fuel Standard and zero-emission vehicle deployment targets,  
23 set supplemental goals that will help meet the state's  
24 climate change commitments.

25           All of these laws and strategies guided the

1 development of the Investment Plan Update and achieving  
2 these goals will -- I'm sorry. All of these laws and  
3 strategies guided the development of the Investment Plan  
4 Update. And achieving these goals will require investments  
5 that achieve both short-term emission reductions as well as  
6 the long-term transformation of California's transportation  
7 sector to zero-emission technologies. While developing  
8 this Investment Plan Update, we also considered the  
9 availability of other sources of public and private funding  
10 being invested in these fuels and technologies.

11           To date, the Energy Commission has provided over  
12 \$750 million in funding through the ARFVTP. About 25  
13 percent of this has been invested in biofuel production and  
14 distribution projects. Another combined 35 percent has been  
15 provided for electric vehicles and charging infrastructure.  
16 And 20 percent of the funding has gone to hydrogen  
17 refueling infrastructure and vehicle demonstrations.

18           Some highlights of ARFVTP-funded projects include  
19 59 biofuel production facility projects, 7,700 electric  
20 vehicle charging stations, 64 hydrogen refueling stations  
21 and more than 300 advanced technology heavy-duty trucks.

22           For this Investment Plan Update, we published a  
23 Draft Staff Report in early November, which was followed by  
24 the first Advisory Committee meeting held in Sacramento.  
25 We then released a Revised Staff Report in January and a

1 Second Revised Staff Report in March, and held a second  
2 Advisory Committee meeting in Los Angeles County, also in  
3 March. Most recently we published the Lead Commissioner  
4 Report in late April.

5 The development of each version of this  
6 Investment Plan was guided by the input we received during  
7 the two public workshops and from the comments we received  
8 through the docket. Each comment we receive is considered  
9 and, when appropriate addressed in the Investment Plan.

10 This slide lists all of the Advisory Committee  
11 members for the 2018-2019 Investment Plan. And we would  
12 like to thank each of them for their contribution and  
13 dedication to the program. The membership of the Advisory  
14 Committee includes representatives of fuel and vehicle  
15 technology groups, environmental and public health groups,  
16 academic institutions, and partnering state agencies.

17 For fiscal year 2018-2019, we expect that  
18 significantly more funding than usual will be available for  
19 the program. And the Investment Plan was written to  
20 reflect this. The Governor's proposed budget for 2018-2019  
21 provides over \$277 million in funding that, if approved in  
22 the final budget, will be administered through the ARFVTP.  
23 This year, the proposed budget also provides specific  
24 guidance for the types of fuels and technologies that the  
25 funding can be spent on. This includes \$235 million

1 specifically for hydrogen refueling and electric vehicle  
2 charging stations, \$25 million specifically for low-carbon  
3 fuel production, and \$17.5 million for advanced freight and  
4 fleet technology projects. The funding is proposed from  
5 multiple sources, as described on the slide.

6 I'll now give a brief overview of each of the  
7 funding allocations, starting with Electric Vehicle  
8 Charging Infrastructure. Our investments this year are  
9 largely guided by two major zero-emission vehicle  
10 deployment goals; the first of which is to have 1 1/2  
11 million zero emission vehicles on California's roads by  
12 2025 and the second to have 5 million ZEVs by 2030. While  
13 the Air Resources Board is continuing to provide purchase  
14 incentives for zero emission vehicles to achieve these  
15 goals, the Energy Commission has been tasked with ensuring  
16 that there is adequate public charging infrastructure to  
17 support these vehicles.

18 To these ends, we are proposing a \$134.5 million  
19 allocation for fiscal year 2018-2019, and this will be used  
20 to support the installation of public charging  
21 infrastructure throughout California to achieve the goal of  
22 having 250,000 EV chargers in the state by 2025. This is  
23 the largest allocation we are proposing this year, and this  
24 level of funding is necessary to achieve the state's  
25 infrastructure goals. We estimate that achieving the

1 250,000 charger goal will require a total public and  
2 private investment of between \$1 and \$3 billion over the  
3 next seven fiscal years, and this allocation will provide a  
4 significant boost in state funding to help achieve these  
5 goals.

6           The ARFVTP is also the primary source of  
7 financial support for the state's hydrogen refueling  
8 station network. To date, the Energy Commission has  
9 provided funding for 64 stations, and 34 of these are  
10 currently open for retail business. For the coming fiscal  
11 year we are proposing a \$92 million allocation for hydrogen  
12 refueling stations, which we expect will fund about 40  
13 additional stations in the state, as well as provide  
14 support for initial operations & maintenance expenses.  
15 With this investment, we expect that the state will achieve  
16 its original goal of a network of 100 hydrogen stations,  
17 provide a down payment to achieve the new 200 station goal,  
18 enable additional fuel cell vehicle sales, and provide  
19 sufficient statewide fueling capacity into the year 2022.

20           We are also proposing an \$8.5 million allocation  
21 to support manufacturing operations and workforce training  
22 needs for zero emission vehicle infrastructure. This  
23 category will fund projects that expand in-state  
24 manufacturing facilities for ZEV infrastructure, as well as  
25 provide workforce development support for these and other

1 types of ZEV infrastructure-related projects. These types  
2 of projects will create jobs and provide an economic  
3 benefit for the state while indirectly supporting the  
4 ARFVTP's infrastructure investments. We also expect to  
5 pursue opportunities with this funding that specifically  
6 benefit low-income and disadvantaged communities to further  
7 the state's equity goals.

8           Our funding efforts in the advanced freight and  
9 fleet technologies are also continuing, and for this, we  
10 are proposing a \$17.5 million allocation. The projects  
11 funded under this category are expected to focus on freight  
12 and fleet vehicles with zero and near-zero emission  
13 powertrains, infrastructure to refuel these vehicles, and  
14 non-propulsion projects such as intelligent transportation  
15 systems. We expect that the Energy Commission will  
16 continue to work with the California Ports Collaborative  
17 and help to implement the California Sustainable Freight  
18 Action Plan with funding from this category.

19           Moving on to low-carbon fuel production and  
20 supply, we're proposing a \$25 million allocation for fiscal  
21 year 2018-2019. However, unlike the other categories, the  
22 proposed state budget earmarks funding from the greenhouse  
23 gas reduction fund for these purposes. As in previous  
24 years, this category will provide funding support for the  
25 production of non-petroleum diesel and gasoline substitutes

1 such as biodiesel and ethanol; as well as for renewable  
2 natural gas, and, for the first time, renewable hydrogen.

3 We expect that the category will have a  
4 continuing focus on waste-based and renewable feedstocks,  
5 such as woody biomass, wastewater, and municipal solid  
6 waste, as these tend to have the lowest carbon intensity of  
7 any fuel. As in previous years, the funds in this category  
8 are open to multiple fuel types and development stages,  
9 including pilot, demonstration, and commercial-scale  
10 projects.

11 For the coming fiscal year, we're not proposing  
12 additional funding for natural gas fueling infrastructure  
13 or vehicles. We currently have unspent funds from previous  
14 years for these project types and the Energy Commission  
15 recently completed a new funding solicitation to provide up  
16 to \$16 million to California air districts to fund  
17 incentives for natural gas vehicles. The Energy  
18 Commission's Natural Gas Vehicle Incentive Project is also  
19 still operating and continuing to pay out incentives to  
20 reservations holders. In addition, the Air Resources Board  
21 is providing incentives for natural gas vehicles with low-  
22 NOx engines through their Clean Truck and Bus Voucher  
23 Project.

24 This final slide summarizes all of the proposed  
25 funding allocations for the 2018-2019 Investment Plan

1 Update. Staff requests your approval of this agenda item.  
2 And at this point, I'm happy to answer any questions you  
3 may have. Thank you.

4 CHAIRMAN WEISENMILLER: Thank you.

5 I'm going to get public comment on the Plan.  
6 We'll start with public agencies, so CARB, Sam Wade.

7 MR. WADE: Hello, Chair Weisenmiller and  
8 Commissioners. Thanks for the opportunity to testify  
9 today. We are certainly in support of the proposed  
10 Investment Plan Update. I run the Low-Carbon Fuels  
11 Standard. And as the Investment Plan Update specifies, the  
12 LCFS is a strong complement to ARFVTP. The LCFS is  
13 rewarding the production of low-carbon fuels, especially  
14 with respect to the state's biofuel producer.

15 Last year, biofuels produced 86 percent of the  
16 credits issued in the LCFS. And we've also seen increased  
17 prices recently in the program, reaching highs of \$150 per  
18 credit, over the last few months. And that's much higher  
19 than we've had historically. So what that results in is  
20 approximately \$107 million of credit value delivered to  
21 instate biofuel producers over the last year.

22 And at the end of April, the CARB Board heard a  
23 proposal from staff to strengthen the LCFS target to 20  
24 percent reduction in carbon intensity by 2030. We hope to  
25 return to the Board and hopefully the Board will accept

1 that proposal at a second hearing in this fall. And so  
2 therefore the state's commitment to low-carbon fuels is  
3 clear. And the '18-'19 ARFVTP Investment Plan reinforces  
4 that commitment as part of an integrated strategy across  
5 both CEC and ARB.

6 We strongly support approval today. Thank you.

7 CHAIRMAN WEISENMILLER: Thank you. Thanks for  
8 being here.

9 Bonnie Holmes-Gen?

10 MS. HOLMES-GEN: Good afternoon Chair and  
11 Members, Bonnie Holms-Gen, with the American Lung  
12 Association, in California and congratulations on the ten-  
13 year anniversary. We are pleased to celebrate with you.  
14 And I've been pleased to be a member of the Investment  
15 Advisory Committee and thank you for that opportunity.

16 I want to note that this week we're celebrating  
17 National Women's Lung Health Week to remind the public that  
18 lung cancer is a number one cancer killer for women and  
19 men. And of course air pollution is a major contributor to  
20 lung disease and particle pollution specifically is tied to  
21 increased risk for lung cancer, so all this work that  
22 you're doing is contributing to reducing chronic illness  
23 and reducing lung cancer in California.

24 We strongly support the 2018-'19 AB 118  
25 Investment Plan. And specifically the increasing focus on

1 electric vehicles that is consistent with the original  
2 purpose of the legislation to create this program,  
3 consistent of course with our state greenhouse gas targets,  
4 our federal health-based air quality goals and the  
5 Governor's plan to achieve 5 million electric vehicles  
6 including the infrastructure roll-out.

7           And the American Lung Association, as I have  
8 mentioned I think, has done research on the health impacts  
9 of our current dependence on petroleum-fueled vehicles.  
10 And looking at the light duty contribution to health  
11 impacts, unfortunately, we're seeing over 15 billion in  
12 health and climate impacts annually from our dependence on  
13 petroleum-fueled motor vehicles in the light-duty sector.  
14 In the freight sector I know the ARB has estimated 20  
15 billion in health impacts.

16           These are unfortunately annual numbers. And so  
17 this funding for our ZEV roll-out and bringing together our  
18 incentive programs together with the regulatory programs  
19 that are in place is a critical alignment that's needed.

20           So the solution to our problem, to our urgent  
21 health problems and our climate and air quality problems  
22 that are created by our dependence, our almost exclusive  
23 dependence on petroleum fuels is a transition to zero  
24 emission.

25           Over the years of the program, there have been

1 millions of dollars that have gone to a mix of emerging  
2 technologies and even this year's funding is supporting a  
3 portfolio of fuels. And we have appreciated and  
4 acknowledged the need to support a mix of emerging  
5 technologies as we move forward. But given the state's  
6 climate leadership, our urgent health and air quality  
7 programs are -- we need to refocus this pot of funding. We  
8 believe it's overdue. And we strongly support this plan  
9 that's moving forward, including the 235 million for EV  
10 charging and hydrogen infrastructure.

11           So thank you so much for the time. This is  
12 something we've been involved in for a very long time. And  
13 I'm very pleased to be able to be here today to express our  
14 very strong support for this plan.

15           CHAIRMAN WEISENMILLER: Thank you. Thanks for  
16 being here. Eileen Tutt.

17           MS. TUTT: Good afternoon Chair and Members of  
18 the Commission or Commissioners, I guess. My name is  
19 Eileen Tutt and I'm with the California Electric  
20 Transportation Coalition. We are a non-profit that is  
21 committed to zero emission vehicle technologies across all  
22 the sectors: light duty, medium duty and heavy duty.

23           And I've been very honored to serve on the  
24 ARFVTP, l-m-n-o-p-q-r-s-t Advisory Committee. (Laughter.)  
25 And I commend the Commissioner Scott and the amazing staff

1 in the development of this year's Investment Plan. We  
2 entirely support this Investment Plan. It's consistent  
3 with the Governor's Investment Initiative and we're  
4 supporting that as well.

5           The challenges in getting to the zero emission  
6 transportation future are daunting. It is extremely  
7 substantial the amounts of hurdles that we're needing to  
8 overcome. Our state has committed to transform the  
9 transportation sector and getting off our dependence on  
10 oil, diversifying our transportation fuel sector, and  
11 actually more importantly getting to zero emission  
12 technologies that will protect the health and wellbeing of  
13 all Californians.

14           In order to get there, we are going to have to  
15 shift. And it's going to require substantial and reliable  
16 public and private sector investment. So we are very happy  
17 to see this plan. It's a positive step toward providing  
18 the public sector investment in a reliable way.

19           And I do want to give a specific shout out to the  
20 investment in workforce training. There have been numerous  
21 studies. Most of them are posted on CalETC's website, that  
22 show that shifting to transportation electrification is  
23 good for our whole economy and for jobs. However, to  
24 ensure that our workforce is prepared to support this  
25 transformation and develop the skills needed for these good

1 jobs, we do believe that workforce training is essential  
2 and we're really happy to see it in this plan.

3 So I want to thank you. I want to thank the  
4 Commissioner. I want to thank the staff, the whole  
5 Commission, and I urge you to adopt this plan today. Thank  
6 you.

7 CHAIRMAN WEISENMILLER: Thanks. Thanks for being  
8 here.

9 Anyone else in the room? Please, come on up and  
10 identify yourself. Give our court reporter your card.

11 MR. ECKERLE: Hi. All right, so I'm Tyson  
12 Eckerle, the Deputy Director for Zero Emission Vehicle  
13 Infrastructure at the Governor's Office of Business and  
14 Economic Development.

15 And we're here to support -- push strong support  
16 for the Investment Plan. You know, in January Governor  
17 Brown set out the vision of what we're trying to do with  
18 that 5 million vehicles by 2030, but not only for vehicles,  
19 but for infrastructure.

20 And I think we all intuitively know the  
21 importance of infrastructure in the zero emission vehicle  
22 market. But thanks to the great work done by the Energy  
23 Commission, ARB, NREL and industry, I think we have perhaps  
24 the best understanding in the world of what we do need to  
25 help start the market.

1           And so what's clear, to get where we need to go,  
2 we really need market transformation and not incremental  
3 change. And I think this plan really is a key component of  
4 that transformation. Past EC investments have filled  
5 critical marketplace gaps. They've cultivated key  
6 partnerships and built the confidence that stakeholders  
7 need to invest in market success. And I think this plan  
8 enables the CEC to build on those past successes and help  
9 the ZEV market get to scale in partnership with the key  
10 stakeholders.

11           And I wanted to say a little bit about the  
12 biofuels. At the last Investment Plan meeting we had some  
13 substantial concerns raised by the biofuels industry and I  
14 want to point out that this plan does not result in a  
15 reduction of funding in biofuels this year compared to the  
16 last Draft Investment Plan, but I certainly understand how  
17 it can feel that way given the doubling of investment into  
18 ZEV infrastructure.

19           But I think it is also important to point out  
20 that ZEV infrastructure can help build the biofuels market.  
21 In this context, maybe the most direct connection is the  
22 biohydrogen connection. So building these hydrogen  
23 stations as outlets helps create a market for biofuels that  
24 I think will be very important in our zero emission vehicle  
25 future. So I just wanted to highlight that.

1           So really in closing, I think this is an  
2 absolutely crucial plan. And we commend the CEC for its  
3 responsiveness to the Governor's Executive Order. And GO-  
4 Biz is eager to work with you to help make sure that these  
5 investments are a tremendous success. So thank you very  
6 much for your great work.

7           CHAIRMAN WEISENMILLER: Thank you. Thanks for  
8 being here.

9           Anyone else in the room? Please, identify  
10 yourself. Give your card to the court reporter.

11           MR. ELRICK: Yes. Thank you. Bill Elrick with  
12 the California Fuel Cell partnership and I just wanted to  
13 also express my gratitude and support for this plan. CEC  
14 especially, but the state has been very generous in a long  
15 history of support when it comes to ZEV technology  
16 development and specifically for hydrogen and fuel cell  
17 vehicles and the support in this plan, where we are now at  
18 a point where we have success in the early market launch.  
19 The previous funding has really helped us get to this  
20 point.

21           But as was just mentioned, the next step is to  
22 ramp this up, scale it up, so that we can begin to phase  
23 out of government support and get to a self-sustaining  
24 market. So I rushed in because we're working on a new  
25 roadmap that looks at how we get there. How we turn this

1 from a government push into a market pull. We're very  
2 excited to release a document as soon as we can on this.

3 But it's this kind of funding and frankly it's  
4 the leadership and the commitment at this level to help  
5 push it through its last throes to get it out the door and  
6 really get that excitement, because California is leading  
7 the world. It has shown what it can do and we really need  
8 a bit more of this leadership and support going forward, so  
9 that we can get the private investment in, which unlocks  
10 this scaling up and enables the broader infrastructure  
11 development that can be its own business case and run on  
12 its own. It can enable the customers to go out and buy a  
13 fuel cell and a ZEV vehicle and really get to all of our  
14 environmental, economic and energy stability goals that  
15 we're achieving.

16 So I'm really happy to see this. I'm glad for  
17 all the work CEC, the staff and everyone has done to get to  
18 this point and we look forward to the next steps together.

19 CHAIRMAN WEISENMILLER: Great. Thank you.  
20 Thanks for being here.

21 Okay. Anyone else in the room?

22 (No audible response.)

23 CHAIRMAN WEISENMILLER: Let's go to the phone  
24 lines. Let's start with South Coast, it's a public agency.

25 MS. WHITE: Hi. Good afternoon. My name is

1 Vicki White and I represent the South Coast AQMD. I work  
2 as a Manager in our Technology Advancement Office and thank  
3 you for this opportunity to speak on this item today.

4           The South Coast AQMD is very supportive of the  
5 2018-19 Investment Plan. Especially the areas of increased  
6 focus on electric and hydrogen-fueling infrastructure that  
7 includes medium and heavy-duty vehicles, biofuel  
8 production, advanced freight and fleet technologies that  
9 address needs to lower emissions from goods movement that  
10 includes zero and near zero emission technologies.

11           The South Cost AQMD has successfully partnered  
12 with the CEC to significantly lower criteria pollutant  
13 emissions, as well as concurrent greenhouse gas and  
14 petroleum use reductions with the numerous projects awarded  
15 from this program.

16           Staff thanks the CEC and its Commissioners for  
17 the previous awards and look forward to continuing  
18 leveraging public funds in an effort to forward our mutual  
19 clean air goals. Thank you.

20           CHAIRMAN WEISENMILLER: Thank you.

21           Let's go on to Energy Independence Now.

22           MR. GOLDSTEIN: Hi. This is Brian Goldstein, the  
23 Executive Director of Energy Independence Now. On behalf  
24 of the IN, our Board of Directors, our thousands of  
25 supporters and the hydrogen vehicle infrastructure

1 stakeholders, we strongly support the CEC Investment Plan  
2 for 2018.

3           So while our organization supports all the EV  
4 technology, we've developed a specific focus on hydrogen  
5 technology. So that'll be the primary focus of my  
6 comments, but I'd like to echo Tyson Eckerle's comments  
7 regarding the role of biofuels and hydrogen ecosystem. And  
8 also mention the role of hydrogen and energy storage to  
9 support BEV charging with renewable electricity.

10           So we're grateful for the opportunity to  
11 participate in the ARFVTP Advisory Board. EIN commends the  
12 Commission's strong VEB leadership and specifically the  
13 commission's support of the robust hydrogen SCEV  
14 infrastructure that's going to be necessary to meet the  
15 goals that we've outlined here in the state.

16           We applaud the 2018 allocation of 92 million to  
17 support hydrogen electric vehicles and infrastructure.  
18 We've submitted written comments on several areas of the  
19 budget, but there are a couple I wanted to point our  
20 specifically.

21           We're thrilled about the Commission's continued  
22 support for hydrogen stations and renewable hydrogen  
23 production. The Executive Order called for 200 stations to  
24 strengthen the SCEV market clearly. And it'll help  
25 diversify the state's station network. We'd like to

1 emphasize though that while the 20108 budget proposal  
2 reflects the need for hydrogen stations through 2023, we  
3 definitely will need further research to identify the  
4 appropriate number of stations and the renewable hydrogen  
5 production capacity that we'll need to meet the goal of  
6 five million ZEVs by 2030.

7           So our organization estimates that we'll need  
8 approximately 1,000 high capacity, multi-position hydrogen  
9 fueling stations to support approximately a million SCEVs  
10 by 2030. And that would be 20 percent of our overall ZEV  
11 goal.

12           So beyond that, I wanted to mention the most  
13 recent Energy Commission solicitation supporting renewable  
14 hydrogen transportation fuel production. We're very  
15 excited about that and applaud that initiative from the  
16 Commission. We recommend that the Commission explore  
17 additional opportunities to invest in renewable hydrogen  
18 research and development and specifically to identify  
19 renewable hydrogen supply gas relative to the projected  
20 vehicle adoption over the next several years and then with  
21 specific focus on the impact of the Executive Order call  
22 for 200 stations.

23           So that said, we'll make sure that the rest of  
24 our comments are submitted in written form. We encourage  
25 the Commission to adopt the proposed budget plan and we

1 certainly appreciate the opportunity to speak today. Thank  
2 you.

3 CHAIRMAN WEISENMILLER: Thank you.

4 Anyone else on the line?

5 (No audible response.)

6 CHAIRMAN WEISENMILLER: Then let's transition to  
7 Commissioner Scott.

8 COMMISSIONER SCOTT: Okay. Great. Well, I would  
9 like to start by commending Jacob for the excellent job he  
10 continues to do on the Investment Plan every year. And this  
11 year has been no exception, so thank you, Jacob, for your  
12 fantastic work.

13 As he mentioned, his presentation this year is  
14 unique in that the Governor's proposed budget provides  
15 specific guidance for the types of fuels and technologies  
16 for the funding and adds additional funding. And it's got  
17 a strong focus on zero emission vehicle infrastructure in  
18 support of his most recent -- Governor Brown's most recent  
19 Executive Order, which called for 5 million electric  
20 vehicles by 2030, 250,000 charging points to support that  
21 by 2025 and also 200 hydrogen stations by 2025.

22 So this Investment Plan reflects that direction  
23 and places an emphasis on investing in the infrastructure  
24 necessary to move zero emission technologies into the mass  
25 market.

1           And it's, as you all know, I should step back and  
2 mention the transportation sector when you include  
3 refining, is 50 percent of the greenhouse gasses in the  
4 state. So it's important to make this transition to meet  
5 our greenhouse gas goals, to meet our clean air standards,  
6 our petroleum reduction goals. And as Eileen mentioned in  
7 her comments, also to build our work force in our clean  
8 energy -- the transformation that we're making.

9           So over the last ten years, we as a state, have  
10 provided strong support for advancing the zero emission  
11 vehicle market. And we've seen really exciting progress.  
12 There's close to 400,000 zero emission vehicles on the road  
13 today, more than 44 light-duty models are available. And  
14 the number of medium-duty and heavy-duty zero emission  
15 vehicle demonstrations ongoing, buses, it's very exciting.  
16 And to support that market growth it's critical that we  
17 invest in infrastructure that will be necessary to enable  
18 these technologies. So with this funding the Energy  
19 Commission will be playing a critical role in that.

20           I want to take another moment just to say thank  
21 you so much to our Advisory Committee for lending their  
22 time, their expertise, their insights, as we develop these  
23 plans. I'm really excited about the direction that we're  
24 moving and I would like to encourage you all to approve the  
25 Investment Plan before you today.

1                   COMMISSIONER HOCHSCHILD: Can we ask questions?  
2 Okay. I'd, first of all just really want to acknowledge  
3 Commissioner Scott, who has worked incredibly hard on this.  
4 I've seen firsthand the wide variety of stakeholders that  
5 you engage with and all the travel you have to do. And I  
6 just think we're really lucky as a Commission to have you  
7 in the role you're in.

8                   I had a question for Jacob. And correct me if  
9 I'm doing great violence to the numbers here, but my  
10 understanding is the charging infrastructure -- you  
11 mentioned to get to 250,000, it's going to be between a  
12 billion and maybe 3 billion, is that?

13                  MR. ORENBERG: Yes. That is based on our  
14 preliminary calculations for the total cost. That's not  
15 exclusively the state incentive (indecipherable) that is  
16 all income.

17                  COMMISSIONER HOCHSCHILD: Right. Oh. Okay. So  
18 I believe the number is about \$10,000 per charger? And I'm  
19 just wondering, looking ahead, if we have any sense of  
20 expected cost reductions as that industry gets to scale.  
21 If we have any insight on what kind of economy of scale we  
22 might achieve as we go from where we are now, which is  
23 whatever 15,000 chargers or something like that to 250,000  
24 and beyond. If we have any insight from the industry or if  
25 there's other stakeholders here who could speak to that?

138

1 MR. ORENBERG: Yes, it is about \$10,000 per Level  
2 2 charger. And that varies wildly based on the site and  
3 location and the type of facility. It's significantly  
4 cheaper for a single-family residential, but a shared  
5 public charger is about 10,000 per charger or 10,000 in  
6 general. The DC fast chargers are significantly more  
7 expensive.

8 For both of them, we are expecting cost  
9 reductions in both equipment and installation over the  
10 years as manufacturers become more savvy in building these  
11 things and find out ways of reducing costs, they --

12 COURT REPORTER: Can you move the mic just a  
13 little closer? Thanks.

14 MR. ORENBERG: My apologies. So we do expect the  
15 price to come down as manufacturers find ways to make these  
16 into commodities and for the ramp-up production. And we  
17 also expect the cost of installation to possibly come down  
18 as contractors and cities become more familiar with  
19 installing these.

20 COMMISSIONER HOCHSCHILD: Uh-huh. Uh-huh. Okay.

21 COMMISSIONER SCOTT: So I will move approval of  
22 Item 7.

23 COMMISSIONER DOUGLAS: Second.

24 CHAIRMAN WEISENMILLER: So all those in favor?

25 (Ayes.)

1 CHAIRMAN WEISENMILLER: This item passes 4-0.  
2 Commissioner McAllister is absent at this moment.

3 So let's go on to Item 8.

4 MR. ORTIZ: Good afternoon, Commissioners. My  
5 name is Tomas Ortiz and I'm from the Emerging Fuels and  
6 Technologies Office in the Fuels and Transportation  
7 Division.

8 Today I'm proposing for approval two agreements  
9 that show our continued support for biofuels projects.  
10 These proposed agreements are a result of our recent  
11 Community-Scale and Commercial-Scale Advance Biofuels  
12 Productions Facilities Solicitation.

13 The first is an agreement with Anaheim Energy LLC  
14 for just over \$3 million, to re-establish and convert an  
15 existing non-operational bio solids processing facility  
16 into a biofuel facility capable of converting collected  
17 organic waste into renewable natural gas.

18 The proposed fuel will have a negative carbon  
19 intensity, will produce more than \$110 million in combined  
20 local and statewide economic activity and create up to 30  
21 high-wage jobs in a disadvantaged community suffering from  
22 extremely high pollution and depressed economic conditions.  
23 At full capacity this will displace approximately 2.5  
24 million diesel gallon equivalents of fuel and eliminate  
25 57,000 metric tons of carbon emissions annually.

1           Staff is also recommending approval of CEQA  
2 findings and a statement of overriding considerations for  
3 this project based on the lead agency, City of Rialto and  
4 their CEQA documents which include a Final Environmental  
5 Impact Report, Mitigation, Monitoring and Reporting  
6 Program, and statement of overriding considerations.

7           Staff has reviewed and considered the lead  
8 agency's CEQA documents and determined that the proposed  
9 project falls within the scope of the lead agency's CEQA  
10 documents and the project will not result in any new  
11 environmental impacts than those already considered by the  
12 lead agency.

13           Staff has also determined that the mitigation  
14 measures identified will eliminate or mitigate any  
15 significant impacts associated with the project to less  
16 than significant levels except for air quality impacts. As  
17 to the air quality impacts staff has determined that  
18 economic, legal, social, technological, or other benefits  
19 of the project outweigh the significant unavoidable and un-  
20 mitigatable environmental impacts.

21           These benefits include revitalizing an existing  
22 non-operational industrial site, creating economic  
23 opportunities, and reducing regional GHG emissions.

24           The next agreement for just over \$1.8 million,  
25 will allow the Monterey Regional Waste Management District

1 to fuel their fleet with renewable natural gas created from  
2 decomposing organic waste material. This biogas is  
3 captured from the District's operating anaerobic digestion  
4 composting system and landfill gas wells located at the  
5 Monterey Peninsula Landfill.

6 In the future, biogas from the Monterey One Water  
7 regional wastewater treatment plant may also be included.  
8 This operation will also have the potential for scale-up in  
9 production to serve other local and regional fleets.

10 The landfill gas that will be converted and  
11 upgraded to renewable natural gas will greatly reduce  
12 carbon emissions. This project will help California reach  
13 its goal of reducing solid waste by 75 percent and  
14 prohibiting disposal of commercial organics in landfills by  
15 2020.

16 This project is expected to produce almost  
17 521,000 diesel gallon equivalents of transportation fuel  
18 and eliminate approximately 5,600 metric tons of greenhouse  
19 gas emissions annually. This is expected to add 5 long-  
20 term jobs and reduce methane emissions in a disadvantaged  
21 community.

22 I'd like to thank you all for your consideration  
23 of these items. We have Dr. Yaniv Scherson and Andrew Dale  
24 on the phone for Anaheim Energy LLC and Guy Petraborg from  
25 Monterey Regional Waste Management District and Tim

1 Flanagan and Paul Stout of Cornerstone Environmental Group,  
2 who is Monterey's Waste Management District's main  
3 subcontractor for this grant, are here to answer any  
4 questions.

5 CHAIRMAN WEISENMILLER: Great. Thank you.

6 Let's start with anyone in the room who wants  
7 comments, particularly Tim Flanagan. Please come on up.

8 MR. FLANAGAN: Thank you, Mr. Chair, Members of  
9 the Commission. I feel a little bit like Forrest Gump  
10 being here today at a landmark decision. Congratulations.  
11 Thank you so much for wonderful benefits for the  
12 environment in California, so nice to be a fly on the wall.

13 For our project here, the Monterey Regional Waste  
14 Management District is a special district. We were formed  
15 67 years ago when the folks in Monterey County thought it  
16 wasn't a good idea to burn garbage on the beach in  
17 Monterey. So our district was formed and we've been an  
18 environmentally responsible solid waste manager for the  
19 past 67 years.

20 We work under five pillars of sustainability. We  
21 have our people. We have finance. We have the  
22 environment. We have community. We have innovation. This  
23 project touches all five pillars and our mission of turning  
24 waste into resources. This facility will support biogas,  
25 which will make the first carbon negative fuel collection

1 fleet in the Central Coast. So it is an amazing effort  
2 that we've gone through about a ten-year effort to get to  
3 this point.

4 We are very grateful to the Energy Commission  
5 staff and your ability to help these grant funds get us to  
6 the finish line that we've got here. This is going to be a  
7 great benefit for the community on our mission of turning  
8 waste into resources, we're very grateful for this, so  
9 almost three-quarter million residents in the regional  
10 area. We serve Santa Cruz, San Benito and Monterey County,  
11 who are going end up being the beneficiaries of this  
12 conversion of biogas to a carbon negative fuel.

13 So we thank you again. We look forward to your  
14 approval on that. And we're very grateful for the  
15 opportunity to be here. Thank you.

16 CHAIRMAN WEISENMILLER: Sure. Thank you.

17 Anyone else in the room? Let's go on the line  
18 and turn to Anaheim Energy.

19 MR. SCHERSON: This is Yaniv Scherson with NI  
20 Energy. And there's some echo in the background as I talk.

21 CHAIRMAN WEISENMILLER: You may need to mute your  
22 line, if you're listening to us on the line.

23 MR. SCHERSON: Okay, I'm listening on the  
24 telephone. But if I mute my line I won't be heard.

25 CHAIRMAN WEISENMILLER: Go ahead. Try what you

1 can.

2 MR. SCHERSON: Okay. Well, so I just wanted to  
3 express our sincere gratitude and appreciation for today's  
4 meeting and comment that we're thrilled to be part of a  
5 syndicate of multiple agencies built on a flagship  
6 (indiscernible) that will be the largest in the state for  
7 converting organics from landfills, producing natural gas.

8 I supported the project -- broad support from  
9 California Energy Commission, CalRecycle, U.S. Department  
10 of Energy, as well as the City of Rialto and major  
11 utilities such as from Anaheim and Southern California  
12 Edison and our partner Waste Management for  
13 (indecipherable) renewable natural gas produces the -- to  
14 run the vehicles (indecipherable).

15 I'll pause there and I just want to add if there  
16 are any questions available (indiscernible)

17 CHAIRMAN WEISENMILLER: Okay. Thank you for  
18 being there.

19 Anyone else on the line?

20 (No audible response.)

21 CHAIRMAN WEISENMILLER: Okay. Commissioner  
22 Scott?

23 COMMISSIONER SCOTT: Not too much to add to the  
24 excellent presentation. I just want to say thank you very  
25 much for being here and also the Anaheim for dialing in.

145

1 And we also agree with the mission of turning waste into  
2 resources that we're excited about this project. And I  
3 recommend it to you.

4 So if there are no questions, I will move  
5 approval of Item 8.

6 COMMISSIONER DOUGLAS: Second.

7 CHAIRMAN WEISENMILLER: All those in favor?

8 (Ayes.)

9 CHAIRMAN WEISENMILLER: Item eight passes 5-0.  
10 Thank you. Let's go on to Item 9.

11 MS. HAAS: Good afternoon. I'm Tami Haas with  
12 the Fuels and Transportation Division and through the  
13 Alternative and Renewable Fuel and Vehicle Technology  
14 Program we are seeking approval to enter into an agreement  
15 for \$1.35 million with Los Angeles Trade Technical College  
16 for workforce training and development activities. If  
17 approved, funding for this agreement would provide  
18 education and training to improve career opportunities and  
19 earning potential in disadvantaged communities, while  
20 simultaneously supporting the state's clean transportation  
21 goals.

22 Banding together in 2016, multiple communities in  
23 Southern Los Angeles, consisting of 200,000 residents, won  
24 a federal "Promise Zone" designation, which is shown here.  
25 The region adopted the title South Los Angeles Transit

1 Empowerment Zone or SLATE-Z, with the intent to connect  
2 south LA through transportation, education and economic  
3 mobility. Based on 2011 American Community Survey data,  
4 the SLATE-Z region has a poverty rate of 37 percent. LATTC  
5 serves as the lead agency for the SLATE-Z and includes a  
6 Transportation Workforce Institute. Next slide.

7 LATTC's Transportation Workforce Institute has  
8 strong industry relationships with LA Metro and other  
9 transit agencies and works with many industry partners who  
10 have contributed to the development of the Advanced  
11 Transportation and Manufacturing Pathway.

12 Under this agreement, LATTC proposes to use five  
13 strategies. First, to educate community youth through the  
14 development of career pathways and awareness campaigns for  
15 K through 12 students, including the expansion of the LATTC  
16 Youth Transportation Academy and the LATTC STEAM Academy.

17 Second, increase the pool of potential clean  
18 transportation professionals in the community through  
19 outreach, recruitment, and marketing to SLATE-Z adult  
20 residents employing help from 53 community-based agencies  
21 that are part of SLATE-Z.

22 Third, increase career growth opportunities for  
23 SLATE-Z residents through up-skilling and incumbent worker  
24 training in clean transportation technologies. This  
25 targets residents currently in transportation or energy

1 related positions whose skills are not up with the latest  
2 technological developments. This strategy will also  
3 include retraining maintenance technicians and drivers of  
4 electric school buses.

5 Fourth, to increase the number of new industry  
6 entrants in the SLATE-Z community who are trained in clean  
7 transportation technologies, including short-term training  
8 and certificate programs.

9 And finally, it will increase the capacity of  
10 community college faculty to provide state-of-the-art  
11 training in advanced vehicle technologies. Next slide.

12 In summary, this agreement seeks to increase the  
13 number of residents in disadvantaged communities who have  
14 an opportunity to improve their career and earning  
15 potential; start educating the community at a young age,  
16 giving elementary through high school students a vision and  
17 pathway into a good paying career and raise awareness of  
18 the benefits of clean transportation technologies in areas  
19 that will benefit greatly from them.

20 We have a representative from LATTC on the phone  
21 who would like to make a brief comment and with that we're  
22 ready to answer any questions.

23 CHAIRMAN WEISENMILLER: Thank you.

24 So let's start with is there anyone in the room  
25 with any comments? Then let's go to the phone line.

1 MS. BARAJAS: Good afternoon. My name is Leticia  
2 Barajas. And I'm Vice President at Los Angeles Trade  
3 Technical College. I wanted to thank the Commission for  
4 the opportunity to consider this proposal given that we  
5 seek, through workforce development and workforce training  
6 to transform the South Los Angeles community. We see this  
7 initiative as a very key element in ensuring that residents  
8 of South Los Angeles have an opportunity to understand, to  
9 be exposed to, and have access to these training  
10 opportunities.

11 We just wanted to, on behalf of my college  
12 President, Lawrence Frank, and the Los Angeles Community  
13 College District, thank the Commission for the opportunity  
14 to consider this proposal.

15 CHAIRMAN WEISENMILLER: Thank you.

16 Anyone else on the line?

17 (No audible response.)

18 CHAIRMAN WEISENMILLER: Let's transition to  
19 Commissioner Scott again.

20 COMMISSIONER SCOTT: Okay. Terrific, Well we've  
21 got a nice array of ARFVTP projects for your consideration  
22 today. This one obviously is in the workforce training  
23 area. And as Tami ably noted in her presentation, this is  
24 just really exciting. I mean it's an opportunity to help  
25 ensure that low-income and disadvantaged communities,

1 specifically this community here in L.A., has a chance to  
2 become a well trained workforce with living wage jobs on  
3 these clean transportation technologies.

4 So if there are no questions, I will move  
5 approval of Item 9.

6 COMMISSIONER HOCHSCHILD: Second.

7 CHAIRMAN WEISENMILLER: All those in favor?

8 (Ayes.)

9 CHAIRMAN WEISENMILLER: This item passes 5-0  
10 also. Thank you. Let's go on to Item 10.

11 MR. ONG: Good afternoon Chair and Commissioners.  
12 My name is Matthew Ong, Air Pollution Specialist from the  
13 Emerging Fuels and Technology Office of the Fuels and  
14 Transportation Division.

15 I'm here presenting for possible approval of a  
16 contract with the University of California, Irvine, for  
17 \$350,000 conduct a one-year research paper-study. The  
18 study will create a roadmap for the development of  
19 renewable hydrogen production facilities in California,  
20 similar to the analysis and work they had done in the past  
21 for us for hydrogen refueling infrastructure.

22 Dedicated hydrogen fuel production that also  
23 complements the state's requirements for 33 percent  
24 renewable hydrogen is critical to support the 200 hydrogen  
25 refueling stations that are expected to be operational in

1 the state by 2025. This study will provide insight into  
2 factors affecting where and how future funding may be  
3 needed to support this area.

4 Thank you for your consideration of this item.  
5 And I am available to answer any questions you or others  
6 may have.

7 CHAIRMAN WEISENMILLER: Thank you.

8 Any comments from anyone in the room or on the  
9 line?

10 (No audible response.)

11 CHAIRMAN WEISENMILLER: Well, again transition to  
12 Commissioner Scott.

13 COMMISSIONER SCOTT: So I think a few items back  
14 we heard kind of the importance of looking into this  
15 industry, understanding hydrogen, renewable hydrogen, where  
16 it's going to come from and making sure that we have enough  
17 to fuel the vehicles and so I support this research. And  
18 seeing no questions, I will move approval of Item 10.

19 CHAIRMAN WEISENMILLER: All those in favor?

20 COMMISSIONER HOCHSCHILD: Second.

21 CHAIRMAN WEISENMILLER: Thank you. All those in  
22 favor?

23 (Ayes.)

24 CHAIRMAN WEISENMILLER: This item passes 5-0.  
25 Thank you.

1           Let's go on to Item 11.

2           MR. LERMAN: Good afternoon, Commissioners. My  
3 name is Sam Lerman and I'm an Engineer with the Fuels and  
4 Transportation Division. I bring for approval of two  
5 agreements for the deployment of battery electric  
6 infrastructure for freight vehicles operating at the Ports  
7 of Los Angeles and Long Beach.

8           These projects will lead to transformative  
9 changes in California's freight industry while also  
10 providing significant environmental benefits to  
11 disadvantaged communities in the South Coast Air Basin.

12           At full utilization, the Energy Commission's  
13 investments of these two grants will lead to the deployment  
14 of 47 zero-emission yard tractors and forklifts, which will  
15 lead to the reduction of nearly 3,000 metric tons of carbon  
16 dioxide and 6 tons of nitrous oxide, in a federally  
17 designated non-attainment area for Ozone.

18           Additionally, the recipients have secured  
19 significant match funding from outside sources for the  
20 near-term deployment of 16 zero-emission yard tractors that  
21 will utilize infrastructure investments under these two  
22 agreements.

23           Each of these projects will incorporate battery  
24 energy storage to reduce demand charges for the terminal  
25 operators. The Port of Long Beach project will incorporate

1 DC fast charging via the Combined Charging System 1.0  
2 standard, which is an important and innovative step toward  
3 commercialization of heavy-duty technologies by utilizing a  
4 common charging interface.

5 The Port of Los Angeles Project will deploy a  
6 wireless charging concept for yard tractors that allows for  
7 charging with minimal training of vehicle operators and  
8 minimal interruptions to a fleet's normal course of  
9 business.

10 Such innovative concepts support the deployment  
11 of advanced freight technologies on a broad scale, beyond  
12 the Energy Commission's direct investments in these two  
13 projects.

14 Additionally, these agreements are directly  
15 supported by the Energy Commission's action items under  
16 both the Governor's Zero Emission Vehicle Action Plan and  
17 the California Sustainable Freight Action Plan.

18 So thank you for your time. I'm happy to answer  
19 any questions you may have.

20 CHAIRMAN WEISENMILLER: Great. Thank you.

21 Let's start with comments from parties in the  
22 room. I've got two cards, one from the Port of Long Beach.

23 MR. CAMERON: Thank you Mr. Chair and  
24 Commissioners. My name is Rick Cameron. I'm the Manager  
25 of Planning Environmental Affairs for the Port of Long

1 Beach. And I want to send my appreciation to you, Mr.  
2 Chair. About four years ago plus we held a little round  
3 table down at the Port of Long Beach --

4 CHAIRMAN WEISENMILLER: I remember that.

5 MR. CAMERON: -- with then CTC Commissioner Fran  
6 Inman. And since then, with Commissioner Scott's  
7 leadership, with the Port's (indecipherable) collaborative,  
8 I think we've really come a long way. I want to appreciate  
9 the staff, all their hard work over the years, lining up  
10 our missions of where we need to be respectively.

11 Probably four years ago the Energy Commission  
12 probably would be like why is the Port Authority on right  
13 now? But I think we know why and so I really appreciate  
14 that.

15 I think this award right here is very important  
16 for us, as we start to talk about infrastructure.  
17 Infrastructure is going to be key for us as we start to  
18 move forward working with our marine terminal operators in  
19 understanding what the next evolution of this next platform  
20 is to support zero emissions on the marine terminals.

21 So we're very appreciative of your leadership.  
22 And once again of staff's hard work in working with my team  
23 on this application as well as other applications. I've  
24 only gotten good feedback from my team about working with  
25 CEC staff and I just want to send my appreciation. So

1 thank you so much.

2 CHAIRMAN WEISENMILLER: No, thanks for being  
3 here. I wish you would note that Fran is now Chair of the  
4 CTC.

5 Let's go to the Port of Los Angeles.

6 MR. GOLDBERG: Good afternoon. My name is Jacob  
7 Goldberg and I'll be the Project Manager for the Port of  
8 Los Angeles on this Advanced Infrastructure Demonstration  
9 Project. We would like to express our gratitude to the CEC  
10 for continuing to provide support for the development of  
11 clean technologies for freight vehicles at the Port and  
12 particularly for selecting this proposed project for  
13 funding.

14 This grant targets the installation of advanced  
15 infrastructure, something that is often overlooked in  
16 sorely needed in the goods movement sector. As zero  
17 emissions vehicles and equipment are getting closer and  
18 closer to final commercialization and deployment, this  
19 project will give us an opportunity to model an idealized  
20 version of the charging infrastructure necessary to support  
21 the eventual operation of a fully zero emission container  
22 terminal.

23 Again, we would like to thank CEC staff for  
24 recommending our project for funding and look forward to  
25 conducting this demonstration. Thank you.

1           CHAIRMAN WEISENMILLER: Thank you. Thanks for  
2 being here.

3           Anyone else in the room or on the line?

4           (No audible response.)

5           CHAIRMAN WEISENMILLER: Again, transition to  
6 Commissioner Scott.

7           COMMISSIONER SCOTT: Great. Well, I just want to  
8 say thank you so much to both Rick and Jacob for taking the  
9 time to be here today and the ports for their partnership  
10 with the Energy Commission and their willingness to really  
11 help pioneer these technologies. We really are kind of  
12 kicking the tires, taking all of this on a shakedown run to  
13 see how is it going to work and I appreciate that very  
14 much. And then once we get it working, how to accelerate  
15 it into the market space.

16           And also thank you so much for your kind words  
17 about our great staff. I know they work hard every day to  
18 be good partners with you as well. So if no questions on  
19 this, I will move approval of Item 11.

20           COMMISSIONER DOUGLAS: Second.

21           CHAIRMAN WEISENMILLER: All those in favor?

22           (Ayes.)

23           CHAIRMAN WEISENMILLER: This passes 5-0. Thank  
24 you.

25           Let's go on to Item 12.

1 MS. WILLIAMS: Good afternoon, Chair and  
2 Commissioners. I'm Sarah Williams with the Emerging Fuels  
3 and Technologies Office.

4 Medium and heavy-duty diesel vehicles are a major  
5 source of greenhouse gas and particulate pollution. To  
6 minimize this, many local air districts have created  
7 incentive programs to encourage drivers and fleets to  
8 transition from diesel to compressed natural gas. Because  
9 these programs are underfunded, Energy Commission staff  
10 developed the Air District Natural Gas Vehicle  
11 Solicitation. Today for your consideration, we propose two  
12 agreements for funding.

13 First, South Coast Air Quality Management  
14 District is partnering with the Port of Los Angeles and  
15 Port of Long Beach to match the Energy Commission's \$8  
16 million with \$6 million incentivizing the purchase of at  
17 least 140 low-NOx trucks.

18 Second, San Joaquin Valley Unified Air Pollution  
19 Control District will include the Energy Commission's \$8  
20 million in funding in their update to the Truck Voucher  
21 Program incentivizing the purchase of at least 80 low-NOx  
22 trucks.

23 These two agreements combined will remove 220  
24 diesel trucks from service. Both projects service  
25 disadvantaged communities. Thank you for consideration of

157

1 these two agreements. I would be happy to answer any  
2 questions.

3 I understand on the line, we have Vicki White,  
4 Technology Implementation Manager at South Coast Air  
5 Quality Management District, who would like to say a few  
6 words and is open for questions, as well as Aaron Tarango,  
7 Supervisor of Strategies and Incentives Department with the  
8 San Joaquin Air Pollution Control District who's available  
9 to answer questions.

10 CHAIRMAN WEISENMILLER: Great. So let me start.  
11 Is there anyone in the room who has a comment on this? So  
12 let's go to the telephone line. Let's start with the South  
13 Coast again.

14 COMMISSIONER SCOTT: Vicki, are you there?

15 (No audible response.)

16 CHAIRMAN WEISENMILLER: Let's go to San Joaquin  
17 first, while we wait for Vicki.

18 (No audible response.)

19 CHAIRMAN WEISENMILLER: Okay. Go ahead.

20 COMMISSIONER SCOTT: Great. Well, I do want to  
21 say thank you to our friends at the air districts for their  
22 partnership here. This is another great project to get  
23 some cleaner vehicles out there on the road to replace some  
24 higher-polluting vehicles. And if there are no questions,  
25 I will move approval of Item 12.

1 COMMISSIONER HOCHSCHILD: Second.

2 CHAIRMAN WEISENMILLER: All those in favor?

3 (Ayes.)

4 CHAIRMAN WEISENMILLER: This passes 5-0. Thank  
5 you.

6 Let's go on to Item 13.

7 MS. PUREWAL: Good afternoon, Commissioners. My  
8 name is Sharon Purewal and I am with the Fuels and  
9 Transportation Division's Zero-Emission Vehicle and  
10 Infrastructure Office.

11 I am seeking approval of eight agreements  
12 submitted for Phase I of an expected two-phase solicitation  
13 effort to develop comprehensive and replicable electric  
14 vehicle-ready community blueprints. With the eight  
15 proposed projects in Item 13 will support and accelerate  
16 California's goals to increase zero emission vehicle  
17 infrastructure under the Zero Emission Vehicle Action Plan  
18 and will reduce barriers to electrified transportation  
19 access in disadvantaged communities.

20 Specific projects may also support the California  
21 Sustainable Freight Transportation Plan and efforts to  
22 accelerate the deployment of advanced energy communities.

23 The completed blueprints will serve as replicable  
24 step-by-step guides for communities and regions throughout  
25 California, namely disadvantaged communities and areas that

1 do not have a background in transportation electrification.

2           Tasks under these agreements range from analyzing  
3 grid impacts of potential infrastructure, engaging  
4 potential electric vehicle charging station site hosts and  
5 compiling a list of sites, workforce development in the  
6 electrified transportation and/or alternative fuel sector  
7 and community engagement in the planning process. Each  
8 award amount is around \$200,000 in addition to a 25 percent  
9 cash or in-kind match share contribution from the  
10 recipients.

11           With that, I would like to thank you for your  
12 time and consideration of these items. I am available for  
13 any questions you may have.

14           And I also know from the Port of Long Beach, Rick  
15 Cameron is in attendance. And I'm not sure if he would  
16 like to provide any comments in support of this item.

17           CHAIRMAN WEISENMILLER: Great. Thank you.

18           So we'll start with comments from parties in the  
19 room. I've got two cards, so let's start with Cameron.

20           MR. CAMERON: Mr. Chair, Commissioners, thank you  
21 again for the opportunity. I'll be brief here. This is  
22 another one of these opportunities that on the surface when  
23 my port staff looked at this and working with our  
24 consultants, it didn't look like it was applicable. But  
25 we're going to be the first sea port that really is looking

1 for a zero emission kind of roadmap in a planning document.  
2 It goes back to the previous item you just approved for us  
3 in terms of the infrastructure and having that bigger  
4 vision. So I wanted to say thank you again and thank you  
5 again to staff.

6 CHAIRMAN WEISENMILLER: Great. Thanks for being  
7 here.

8 Let's go to City of Santa Clara, Silicon Valley  
9 Power.

10 MS. HUGHES: Good afternoon Mr. Chair and  
11 Commissioners. My name is Kathleen Hughes from the City of  
12 Santa Clara, Silicon Valley Power. And I just want to say  
13 on behalf of our city, the utility and our partner Siemens,  
14 we'd like to thank you for this grant opportunity. And we  
15 look forward to developing hopefully a replicatable, smart  
16 blueprint that will not only help our city embrace this  
17 ever and rapidly changing transportation future, but  
18 provide guidance to others and make it something that we  
19 can all grab onto and deploy. Thank you very much.

20 CHAIRMAN WEISENMILLER: Thank you. Thanks for  
21 being here.

22 Anyone else in the room or on the line with  
23 comments on this item? Please, go to Bonnie. Mic, oops,  
24 okay. Got it?

25 MS. HOLMES-GEN: Is it on now?

1           CHAIRMAN WEISENMILLER: Yes.

2           MS. HOLMES-GEN: Okay. Great, I didn't see the  
3 green light.

4           Chairman Weisenmiller and Members, Bonnie Holmes-  
5 Jen with the American Lung Association in California. And  
6 in line with my previous comments, I just wanted to express  
7 our support for this item and the other funding items that  
8 you're bringing forward under the ARFVTP. But we've been  
9 particularly very anxious to see how the Energy Commission  
10 can spur local leadership. It's so important to have these  
11 local champions building excitement and building the EV  
12 readiness at the local level. And it's critical to have  
13 that state and local partnership. So we just really are  
14 excited about this step and look forward to engaging  
15 however we can to help this local blueprint and helping  
16 with local EV rollout.

17           CHAIRMAN WEISENMILLER: That's great. Thank you.  
18 Thanks.

19           Anyone else in the room or on the phone?

20           (No audible response.)

21           CHAIRMAN WEISENMILLER: Commissioner Scott, go  
22 ahead.

23           COMMISSIONER SCOTT: And before I jump in I  
24 should have mentioned that with respect to item 13c I want  
25 to disclose that I'm a member of the UCLA Luskin Center for

1 Innovations Advisory Board. They're one of subcontractors  
2 under 13c.

3 And on this project I am very excited about this  
4 one as well. I want to thank our team for putting this  
5 together, doing such a great job, but also the EPIC team.  
6 The EPIC challenge with the advanced energy communities I  
7 thought was fantastic, a great way to bring local  
8 communities along, help with the planning and then roll out  
9 the plans that they've put together. And I said, "Hey, why  
10 can't we do that with charging?" And here we are doing  
11 that with charging.

12 So I want to thank the EPIC team for their great  
13 idea, letting us co-opt it on the charging side and my team  
14 on the transportation for putting it together. And if  
15 there's no questions on this one, I will move approval of  
16 Item 13.

17 COMMISSIONER HOCHSCHILD: Second.

18 CHAIRMAN WEISENMILLER: All those in favor?

19 (Ayes.)

20 CHAIRMAN WEISENMILLER: This is also for 5-0.

21 Thank you.

22 Let's go on to Item 14.

23 MR. MEYER: Good afternoon Chair and  
24 Commissioners. I'm Christopher Meyer with the Building  
25 Standards Office. I'm very happy to be bringing you

1 something slightly simpler than we had earlier this  
2 morning.

3 So this is a technical support contract with  
4 Bruce Wilcox for 4 million over just over three years. And  
5 it's the first of two technical support contracts we intend  
6 to bring before you, before the end of the fiscal year in  
7 support of the Building Standards.

8 And basically this contract provides the critical  
9 technical support in the building sciences that we need for  
10 implementation of both the 2019 Energy Code and the  
11 development and implementation of the 2022 Energy Code.

12 And anyways, so with that I'd just want to  
13 request approval of this contract and I'm happy to answer  
14 any questions.

15 CHAIRMAN WEISENMILLER: First, are there any  
16 comments from anyone in the room or on the line?

17 (No audible response.)

18 CHAIRMAN WEISENMILLER: Then let me again  
19 transition to Commissioner McAllister.

20 COMMISSIONER MCALLISTER: So these contracts for  
21 res and non-res have been just a key way that we get the  
22 job done. It's really an all hands on deck kind of thing  
23 and we available ourselves of the skills we have in the  
24 building, but also it's just not enough to cover the bases  
25 in the time that we have. And so we contract quite a bit

164

1 of that work to others and kind of work as a team.

2 So this contract is for the residential side of  
3 that. And I guess I just want to be clear, the next  
4 contract for technical support would be for non-res,  
5 correct?

6 MR. MEYER: Yes. That is correct.

7 COMMISSIONER SCOTT: Okay. So we'll see that  
8 down the road. So I am fully in support of this. We've  
9 got, as we heard this morning, we've made one big step  
10 forward, but 2022 is going to be another big step forward.  
11 And we have a lot of implementation to do between here and  
12 there. So I would support this strongly.

13 So I'll move Item 14.

14 COMMISSIONER DOUGLAS: Second.

15 CHAIRMAN WEISENMILLER: All those in favor?

16 (Ayes.)

17 CHAIRMAN WEISENMILLER: This item passes 5-0.

18 Thank you.

19 MR. MEYER: Thank you.

20 CHAIRMAN WEISENMILLER: Let's go on to 15. I  
21 guess there's a question about Commissioner Scott's audio?

22 COMMISSIONER SCOTT: We can hear it in the room,  
23 right? We're hearing that it can't be heard on the phone.  
24 Can we get our tech folks, maybe I need a new mic or?

25 (Off mic colloquy.)

1 CHAIRMAN WEISENMILLER: Okay. So 15, let's go.

2 MR. SITU: Good afternoon Mr. Chairman and  
3 Commissioners, my name is Gavin Situ. I am a Mechanical  
4 Engineer of the Local Assistance and Financing Office in  
5 the Efficiency Division.

6 Today, I am requesting approval of an Energy  
7 Conservation Assistance Act, also known as the ECCA, 1  
8 percent loan to the Kern Valley Healthcare District. The  
9 application is for a \$1,918,560. ECAA-Regular funded loan  
10 to implement the installation of six energy efficiency  
11 measures. The measures include LED lighting upgrades, new  
12 variable frequency drives on chilled water plant pumps, new  
13 variable frequency drives on cooling tower fans, new high  
14 efficiency chiller with variable frequency drive, new high  
15 efficiency boilers and new central plant chiller controls.

16 Upon completion, this project is estimated to  
17 save approximately 740,444 kilowatt-hours of electricity  
18 and 18,399 therms of gas annually, resulting in an annual  
19 cost saving of \$125,570. The combined project is estimated  
20 to save approximately \$1,920,939 over the effective useful  
21 life of the equipment.

22 Energy Commission staff has determined that this  
23 loan is technically justified. And based on the loan  
24 amount, the calculated simple payback for this loan will be  
25 approximately 15.3 years, which is within the 17-year

1    payback period requirement for the loan program and is  
2    within the effective useful life of all measures.

3                   With this information I request your approval of  
4    this item for Kern Valley Healthcare District.  I'm happy  
5    to answer questions you may have.

6                   CHAIRMAN WEISENMILLER:  Thank you.

7                   First, any comments on this item from anyone in  
8    the room or on the line?

9                   (No audible response.)

10                  CHAIRMAN WEISENMILLER:  Okay.  Commissioner  
11    McAllister.

12                  COMMISSIONER MCALLISTER:  Thanks very much for  
13    the details on the measures.  Those are great measures,  
14    actually.  We see a lot of lighting.  We see a lot of PV,  
15    but the mechanical I think we ought to do a little bit more  
16    outreach to try to get a lot of those variable speed  
17    technologies in there, because those really have a long-  
18    term bang for that buck.  So this is a great project.  And  
19    I am happy to move --

20                  COMMISSIONER HOCHSCHILD:  Let me -- Commissioner  
21    McAllister, what is the limit on the payback time he  
22    referenced for ECCA

23                  COMMISSIONER MCALLISTER:  It's 17, I think 17 or  
24    18, yeah.

25                  COMMISSIONER HOCHSCHILD:  Does that give a limit

1 to the program, put a maximum?

2 COMMISSIONER MCALLISTER: Yeah, there's a maximum  
3 on it. Yeah.

4 COMMISSIONER HOCHSCHILD: It is 17 years?

5 MR. SITU: It's correct, for a 1 percent loan  
6 it's 17 years. For 0 percent, it's 20 years.

7 COMMISSIONER HOCHSCHILD: Got it. Okay. Thank  
8 you.

9 COMMISSIONER MCALLISTER: And we try to also --  
10 staff tries to also do the projects first that the payback  
11 is not longer -- if the lifetime of the measure is funded  
12 or less than that, then try to make sure it's within the  
13 lifetime of the actual item.

14 COMMISSIONER HOCHSCHILD: Great.

15 COMMISSIONER MCALLISTER: But I'll move Item 15.

16 COMMISSIONER HOCHSCHILD: Second.

17 CHAIRMAN WEISENMILLER: All those in favor if  
18 item 15.

19 (Ayes.)

20 CHAIRMAN WEISENMILLER: This item also passes 5-  
21 0. Great.

22 COMMISSIONER SCOTT: Can I just do a quick check?

23 (Check for audio issues.)

24 CHAIRMAN WEISENMILLER: Great. So let's start on  
25 16.

1 MS. SNYDER: Good afternoon, Chair and  
2 Commissioners. My name is Katarina Snyder. I'm here with  
3 the Energy Research and Development Division.

4 Today we seek your approval for a proposed  
5 agreement with Lawrence Berkeley National Lab improving the  
6 life-cycle emission estimates from natural gas imported to  
7 California, as mandated by the Legislature.

8 The research team will obtain natural gas samples  
9 from major suppliers and pipelines delivering natural gas  
10 to California and measure their chemical properties,  
11 including concentrations of hydrocarbons, carbon dioxide,  
12 nitrogen, hydrogen sulfide, and variants of elements  
13 commonly called isotopes.

14 This research is innovative, because it will  
15 apply a newly developed technique which allows us to detect  
16 and quantify using molecules with more than one heavy  
17 isotope. The testing methods could help to trace origin of  
18 gas and, for example, allow us to distinguish between man-  
19 made biomethane and thermogenic methane formed in the  
20 earth's crust.

21 This knowledge will allow us a better  
22 understanding of full life-cycle emissions from  
23 California's natural gas system. And the results of this  
24 project will be captured in publicly available database.

25 Staff recommends to approve this agreement.

1 Thank you for your attention and I'm happy to answer your  
2 questions.

3 CHAIRMAN WEISENMILLER: Thank you. First, any  
4 comments from anyone either in the room or on the line?  
5 Let me see if John from LBNL is on the line now?

6 MR. CONRAD: Yes. I'm here. I was just going to  
7 answer any questions anyone might have about some of the  
8 new isotropic methods we're using.

9 CHAIRMAN WEISENMILLER: Great. Thank you. As  
10 the Lead on R&D I have sort of reviewed this. It ties into  
11 some of my obscure past, but anyway it's certainly a good  
12 use of innovative new science to see whether or not we can  
13 actually make some headway in this area. So I certainly  
14 support this project.

15 COMMISSIONER DOUGLAS: I'll move approval of this  
16 item.

17 COMMISSIONER HOCHSCHILD: Second.

18 CHAIRMAN WEISENMILLER: All those in favor?

19 (Ayes.)

20 CHAIRMAN WEISENMILLER: This passes 5-0. Thank  
21 you.

22 Let's go on to 17.

23 MR. CHEN: Hello, Chair Weisenmiller and  
24 Commissioners. My name is Peter Chen. I'm with the Energy  
25 Research and Development Division.

1           This proposed project with Efficient Drivetrains,  
2 Inc. will develop a production-intent heavy-duty compressed  
3 natural gas plug-in hybrid electric vehicle system for  
4 heavy-duty delivery truck application.

5           Efficient Drivetrains will be leveraging a  
6 collaborative partnership with companies in charge of  
7 engine calibration and fuel system integration to optimize  
8 their hybrid vehicle for high efficiency, performance, and  
9 ultra-low emissions, while reducing manufacturing costs by  
10 40 percent compared to their current prototype. The CNG  
11 plug-in hybrid truck will be emissions tested at UC  
12 Riverside over typical real-world driving cycles that  
13 optimize over those cycles.

14           The CNG plug-in hybrid truck will be designed to  
15 have 35 miles of all-electric range to support an  
16 innovative geo-fencing feature that allows the vehicle to  
17 toggle into zero-emissions mode when it travels in  
18 disadvantaged communities.

19           The LA County Department of Public Works will be  
20 demonstrating the truck over a six-month period to test its  
21 optimized power train and zero emission geo-fencing  
22 feature.

23           If successful, this project will lead to a  
24 commercially viable CNG plug-in hybrid electric vehicle  
25 system that can be applied to the broad medium and heavy-

1 duty truck market.

2 We request your approval of this item at this  
3 time and I'm happy to answer any questions.

4 CHAIRMAN WEISENMILLER: Great. Thank you.

5 First, any comments from anyone in the room or on  
6 the line?

7 Then we'll transition. I think this is a really  
8 interesting project. I mean, obviously I was sort of  
9 fascinated by the opportunity on basically zero emission  
10 trucks. And at the same time, if you think about the  
11 charging infrastructure question, having the hybrid  
12 opportunities open up could really be a game changer there.  
13 So again, this is pretty interesting. We'll see what comes  
14 out of it, but I think it's certainly a good idea to pursue  
15 this day at this time.

16 COMMISSIONER HOCHSCHILD: Mr. Chairman, can you  
17 run -- we're doing 20 million a year on this chunk of the  
18 natural gas funding.

19 CHAIRMAN WEISENMILLER: It's about 25. Actually,  
20 we're trying to increase the natural gas funding roughly by  
21 59. We're talking PUC. Obviously, there's a lot of  
22 innovation needed in the gas sector, some of its safety,  
23 some of its adaptation.

24 COMMISSIONER HOCHSCHILD: And a lot of it's going  
25 to pipeline safety, right?

1           CHAIRMAN WEISENMILLER:  Actually, yeah after San  
2 Bruno, one of the things that became pretty clear was that  
3 it needed to be -- at that point it was like zero research  
4 from us on natural gas pipeline safety.  That we really  
5 needed to step that up pretty seriously.

6           I think adaptation issues were also critical  
7 again as we look forward.  Obviously, historically we've  
8 done a lot on the energy efficiency, but I think in terms  
9 of trying to take a broader view.  But I think basically  
10 PUC is certainly interested in trying to move forward.  I  
11 think at this point, part of the question is always what  
12 are we talking about and what's the potential trade-off?"

13           It's sort of trying to get some of the stuff on  
14 the table there for them to consider.

15           COMMISSIONER HOCHSCHILD:  Right.  I'd move Item  
16 17, unless there's another comment.

17           COMMISSIONER SCOTT:  Second.

18           CHAIRMAN WEISENMILLER:  All those in favor?

19           (Ayes.)

20           CHAIRMAN WEISENMILLER:  This item passes 5-0.

21           Thank you.  Let's go on to Item 18.

22           MR. LORENZO:  Good afternoon, Commissioners.  My  
23 name is Michael Lozano representing the Energy Research and  
24 Development Division's Industrial Agricultural and Water  
25 Team.  I'm here today to present a competitively bid

1 project on high efficiency process heating.

2 In California, approximately 400 trillion btus  
3 per year of natural gas is used in industrial process  
4 heating. New methods are needed to replace heat generated  
5 by fossil fuels with renewables. This solar thermal  
6 project integrates an improved solar collector with a new  
7 thermal storage system to create a process heating system  
8 that can provide heat efficiently at night or on cloudy  
9 days.

10 Under the proposed project GTI and UC Merced will  
11 demonstrate the technical performance and cost  
12 effectiveness of the emerging high temperature solar  
13 thermal with storage technology. This technology was  
14 originally developed in the ARPA-E funded Hybrid Solar  
15 System Project bench scale. This project will  
16 significantly scale up this project and it intends to  
17 reduce natural gas use in industrial process heating in an  
18 actual facility.

19 What you would see in this project is basically  
20 it's a tube within a tube with a secondary collector in  
21 between, a shiny, it looks like a flattened "W".

22 And what this does is it increases the  
23 magnification from 30 times, in a typical system now for a  
24 double effect solar system, to 67 times. So essentially we  
25 were having a magnifying glass that is twice the size,

1 achieving much higher heats.

2 This coupled with particle system for heat  
3 storage that's stored in an insulated hopper, we can  
4 achieve temperatures up to 650 degrees at the collector or  
5 500 degrees, provided at the hopper.

6 The goal of this project is to improve the  
7 efficiency of a typical real-world process heating system  
8 by 20 percent and to show a payback of less than five  
9 years. Other goals include validating the system for high  
10 temperature use, which is over 500 degrees Celsius and for  
11 longevity.

12 This \$1.4 million project benefits from \$1.5  
13 million in match, which is well above the 10 percent  
14 required by the bond. The term of this project is 45  
15 months and will be conducted at UC Merced and at a site to  
16 be determined in a California IOU service territory, in  
17 Southern California.

18 We request approval of this project and I'm  
19 prepared to answer of these questions.

20 CHAIRMAN WEISENMILLER: Great. First, are there  
21 any comments from anyone in the room or anyone on the line?

22 I'll talk about I think all of us have been down  
23 to UC Merced and certainly been really excited by the sorts  
24 of things they're doing in the solar area, particularly in  
25 the solar thermal. And as you indicated a lot of our

1 industrial usage, thermal energy comes from basically  
2 natural gas.

3 No one in the world has made any case of  
4 electrifying that as anywhere close to economic. It's just  
5 sort of mind boggling on the cost. So if we could actually  
6 do that with solar thermal, particularly high quality,  
7 which certainly is an area where Merced really specializes  
8 that could really be a game changer. So it's pretty  
9 exciting. And it's also good to continue to build off of  
10 our relationship with RPE. We've tended to pass  
11 technologies back and forth over time.

12 COMMISSIONER HOCHSCHILD: Which is still going,  
13 yeah. In fact, I think they increased the budget.

14 CHAIRMAN WEISENMILLER: I think so, yeah in  
15 whatever message Congress is sending back.

16 COMMISSIONER HOCHSCHILD: Do you need a motion?

17 CHAIRMAN WEISENMILLER: Yeah.

18 COMMISSIONER HOCHSCHILD: I move Item 18.

19 COMMISSIONER DOUGLAS: Second.

20 CHAIRMAN WEISENMILLER: All those in favor?

21 (Ayes.)

22 CHAIRMAN WEISENMILLER: So this item passes 5-0.

23 Thank you.

24 MR. LORENZO: Thank you.

25 CHAIRMAN WEISENMILLER: Let's go on to 19.

1 MS. GOULD: Good after. I'm Angie Gould from the  
2 Energy Research and Development Division and I'd like to  
3 request your approval for a contract with Navigant to  
4 develop a distributed energy resources researches or a DER  
5 research roadmap.

6 The team will work with a wide variety of subject  
7 matter experts in distribution-level technologies like  
8 rooftop solar, smart inverters, demand response, and  
9 distributed energy storage to identify the most promising  
10 avenues of research in the near, mid and long-term that  
11 provide the greatest benefits to California ratepayers.

12 I'm available for any questions you may have, and  
13 staff from Navigant are on the phone line prepared to  
14 answer questions as well.

15 CHAIRMAN WEISENMILLER: Great.

16 Great, let's start with anyone in the room have  
17 any comments? Anyone on the line, so that would be  
18 Navigant?

19 MR. HANSELL: No direct comments, just here for  
20 questions if there are any.

21 CHAIRMAN WEISENMILLER: Okay. That's good.  
22 Obviously, all of us are trying to move forward on DER.  
23 We've had the joint roadmap activity with ISO and the PUC  
24 that seems to be more focused on some of the technologies.  
25 And again, I think we did continue to move in this

1 direction of nailing things down.

2 COMMISSIONER DOUGLAS: So I agree and I will move  
3 approval of this item.

4 COMMISSIONER SCOTT: Second.

5 CHAIRMAN WEISENMILLER: All those in favor?

6 (Ayes.)

7 CHAIRMAN WEISENMILLER: So this item passes 5-0.

8 Thank you.

9 MS. GOULD: Thank you.

10 CHAIRMAN WEISENMILLER: So let's go on to 20.

11 MR. FRIEDRICH: Good afternoon, Chair

12 Weisenmiller and Commissioners. My name is James Friedrich

13 and I am with the Energy Research and Development Division.

14 I am here today to recommend approval of a \$3 million

15 contract with Industrial Economics Incorporated to develop

16 and pilot methods to evaluate the benefits of projects

17 funded through the EPIC program.

18 One of the primary goals of the EPIC program is

19 to provide benefits to the ratepayers in California's IOU

20 service territories. The CPUC defines these "ratepayer

21 benefits" as improved grid reliability, lower electricity

22 costs, and increased safety. Effective evaluation of

23 ratepayer benefits is crucial to ensuring the program is

24 adhering to its goals and using ratepayer funds efficiently

25 and effectively.

1           However, evaluating the ratepayer benefits of  
2 EPIC-funded projects presents many challenges. First, the  
3 EPIC project portfolio is diverse and complex, spanning  
4 many different technology categories in various stages of  
5 research, making it difficult to develop a comprehensive  
6 approach.

7           Second, it often takes several years from the  
8 time a project is funded until the innovation is adopted in  
9 the market or incorporated into practice. This means that  
10 ratepayer benefits not only depend on a technology's  
11 ultimate success, but also its market success. This  
12 contract will help us incorporate these future  
13 uncertainties in our benefits estimation.

14           Finally, some of the intangible benefits of R&D,  
15 most importantly being the knowledge gained through the  
16 research process are difficult to assess. So this contract  
17 will help us do that as well.

18           Industrial Economic Incorporated, our proposed  
19 contractor and its team, are uniquely well qualified to  
20 tackle these challenges, having undertaken similar efforts  
21 with DOE and NYSERDA Research Programs. They will support  
22 the EPIC program by developing a comprehensive and  
23 defensible framework for estimating the benefits of EPIC-  
24 funded projects. The outputs of this project are expected  
25 to help the EPIC program better evaluate ratepayer benefits

1 based on best practices and well-vetted methods and in  
2 documenting and reporting the impact of EPIC's investments.

3 Thank you for your time. I am available to answer  
4 any questions you may have.

5 CHAIRMAN WEISENMILLER: Great. Thank you.  
6 First, are there any comments from anyone in the room or on  
7 the line?

8 (No audible response.)

9 CHAIRMAN WEISENMILLER: Okay. So I'll transition  
10 to the Commissioners. Again, as the Lead in this area I  
11 think basically trying to develop more sophisticated tools  
12 and make state of the art here is pretty critical. We'll  
13 see what comes out of it, but it's probably worth an effort  
14 to try to understand the best practices.

15 COMMISSIONER MCALLISTER: That's great. I'm  
16 totally supportive of having better information, so I'll  
17 move item 20.

18 COMMISSIONER DOUGLAS: Second.

19 CHAIRMAN WEISENMILLER: All those in favor?

20 (Ayes.)

21 CHAIRMAN WEISENMILLER: This passes 5-0. Thank  
22 you.

23 MR. FRIEDRICH: Thank you.

24 CHAIRMAN WEISENMILLER: Let's go on to 21.

25 MR. O'HAGAN: Good morning Chairman Weisenmiller

1 and Commissioners. My name is Joe O'Hagan. I'm in the  
2 Renewable Energy Unit of the Research and Development  
3 Division. The budget for the proposed contract with  
4 Energetics before you should be amended to \$338,059.

5 The purpose of this proposed contract is to  
6 develop a research roadmap that will help inform future  
7 EPIC research addressing grid-connected utility scale  
8 renewable energy generation and storage technologies. The  
9 roadmap would address both emerging and mature technologies  
10 with the goals of reducing costs, increasing flexibility  
11 and reliability.

12 Staff requests that you approve this item and I  
13 am available for any questions.

14 CHAIRMAN WEISENMILLER: First, any comments from  
15 anyone in the room or on the line?

16 Okay. And again I'll transition to the  
17 Commissioners. As the Lead in this area, obviously what we  
18 try to do is make sure that we've got a roadmap to put some  
19 context of what we're trying to do in the specific  
20 projects. This is certainly an important area, that  
21 providing that sort of overall context is important.

22 COMMISSIONER SCOTT: I'll move approval of Item  
23 21.

24 COMMISSIONER DOUGLAS: Second.

25 CHAIRMAN WEISENMILLER: All those in favor?

1 (Ayes.)

2 CHAIRMAN WEISENMILLER: Passes 5-0. Thank you.

3 MR. O'HAGAN: Thank you very much.

4 CHAIRMAN WEISENMILLER: Let's go to 22.

5 MR. MORI: Good afternoon, Commissioners. I'm  
6 Kevin Mori from the Energy Efficiency Research Office,  
7 Industrial, Ag and Water team.

8 The current state-of-the-art datacenter is  
9 limited by the speed at which servers communicate to one  
10 another in the datacenter network. Current technology uses  
11 electrical signals to communicate between servers and the  
12 network switchboard, but electricity is not as fast as the  
13 speed of light.

14 UC San Diego is developing a solution that can  
15 improve the server-to-server communication speed while  
16 keeping the energy use the same using fiber-optic  
17 technology.

18 The goal of this agreement is to demonstrate a  
19 fiber-optic architecture that uses partially-configurable  
20 optical selector switches and newly developed optical  
21 transmitters and receivers to increase server communication  
22 speeds to approximately 250 Petabits per second.

23 As fiber-optics are becoming the new standard for  
24 data transfer speed and energy efficiency, this  
25 architecture has the potential to double the energy

1 efficiency of datacenter processing compared to  
2 conventional electrical network switchboards.

3           And this is why staff is recommending approval of  
4 this competitively-bid agreement with UC San Diego with a  
5 federal cost share of \$3.8 million dollars from the  
6 Department of Energy.

7           This project has a 19-month term and will be  
8 demonstrated on the campus of UC San Diego.

9           Thank you for your consideration, and I will be  
10 happy to answer any questions.

11           CHAIRMAN WEISENMILLER: Great. Well first any  
12 comments from anyone in the room or on the line? I think  
13 UC San Diego might be on the line?

14           MR. PAPEN: Hello?

15           CHAIRMAN WEISENMILLER: Yes. We can hear you.

16           MR. PAPEN: Yes. My name is George Papen. I am  
17 the Principal Investigator on the ARPA-E funded Lightweight  
18 Energy Efficient Data Center. I'd like to commend the  
19 California Energy Commission for having this program in the  
20 first place that allows us and other UC institutions to be  
21 competitive at the national level.

22           And I would like to thank particularly the CEC  
23 staff and Kevin in particular for bringing this to  
24 fruition.

25           CHAIRMAN WEISENMILLER: Great. Thank you.

1            Obviously data centers are one of our growing  
2 power needs. I think one gets to the efficiency question  
3 next as certainly China at this point, is looking at it, in  
4 terms of its next round of appliance standards, including  
5 data centers in that area. So it's sort of a -- this gives  
6 you a way to both improve the efficiency and the  
7 effectiveness if one can do this switch.

8            So again, it's a pretty interesting project and  
9 again builds off of our RVE connections.

10            COMMISSIONER DOUGLAS: So I'll move approval of  
11 this item.

12            COMMISSIONER MCALLISTER: Second.

13            CHAIRMAN WEISENMILLER: All those in favor?

14            (Ayes.)

15            CHAIRMAN WEISENMILLER: This passes 5-0. Thank  
16 you.

17            Let's go on to 23.

18            MR. ERNE: Good afternoon, Commissioners. My  
19 name is David Erne. I'm with the R&D Division. I'm here  
20 to request approval for two new projects that are  
21 microgrids. These are in addition to the four that were  
22 approved at the March business meeting and part of the same  
23 grant funding opportunity. These two new ones complement  
24 those previous four and add some additional unique research  
25 opportunities. And both will produce commercializable

1 solutions.

2           The first one is with the San Diego Unified Port  
3 District. This project will develop a micro grid that will  
4 allow the port to island for 12 hours. It will also help  
5 support a U.S. DOD critical support facility as well as  
6 fuel supply to the nearby airport. It will also help  
7 significantly reduce greenhouse gas emissions, which is  
8 important for the port.

9           So this project is part of a larger redevelopment  
10 project at the port. And that was project was evaluated by  
11 the Port District in an environmental impact report. The  
12 staff have reviewed that documentation and we find that the  
13 microgrid will not cause any significant environmental  
14 impacts. However, the overall implementation of the  
15 redevelopment project will result in unmitigated impacts  
16 that warranted override findings by the Port District and  
17 warrant override findings by the Commission. And that was  
18 documented in the backup documentation for today.

19           The second microgrid is for Gridscape Solutions.  
20 This one will demonstrate the ability to virtually control  
21 five smaller microgrids that are supporting critical  
22 facilities in three disadvantaged communities in both South  
23 and North California. And those critical facilities will  
24 provide 911 emergency response support and emergency  
25 shelter, et cetera.

1                   So we are looking for approval of those two  
2 projects and adoptions of the CEQA findings. We have Renee  
3 Yarmy from the port, who'd like to speak and Shawn Matejcek  
4 from the City of Fontana, who'd like to speak.

5                   CHAIRMAN WEISENMILLER: Thank you. Let's start,  
6 is there anyone in the room with any comments? So let's go  
7 on the phone line. Let's start with the Port of San Diego.

8                   MS. YARMY: Hello. This is Renee Yarmy. Can you  
9 hear me?

10                  CHAIRMAN WEISENMILLER: Yes, we can.

11                  MS. YARMY: Hi there. I'm Program Manager for  
12 Energy and Sustainability at the San Diego Unified Port,  
13 the Port of San Diego. On behalf of the Port District I  
14 wanted to express the appreciation of this grant funding  
15 opportunity. This microgrid project further supports San  
16 Diego's role for the Department of Defense (indiscernible)  
17 ports. And it will help to protect a critical terminal  
18 that (indecipherable) inject fuel supplies in San Diego  
19 International Airport.

20                  (Audio cuts in and out.)

21                  This project also furthers the resiliency and  
22 reliability goals the Port's terminal operation while  
23 certainly continue to reduce greenhouse gas emissions. And  
24 this project further supports the Port's (indecipherable)  
25 Plan by (indecipherable) electrical (indecipherable) while

1 promoting clean, green and efficient models for other port  
2 terminals (indiscernible).

3 So pending the approval of the Commission this  
4 grant will go before the Board of Port Commissioners for  
5 approval at our June meeting. In the meantime, staff has  
6 been working with our project partner's (indiscernible)  
7 kickoff meeting (indiscernible).

8 And I just wanted to express our appreciation to  
9 the Commission for considering this and I'm also available  
10 to answer any questions you may have.

11 CHAIRMAN WEISENMILLER: Great. Thanks for being  
12 there. It's actually good to see three separate port  
13 projects, right?

14 Yeah. Let's go on to the City of Fontana.

15 MR. MATEJCEK: Yes. Can you hear me?

16 CHAIRMAN WEISENMILLER: Yes, we can.

17 MR. MATEJCEK: Okay, great. As David mentioned,  
18 my name is Shawn Matejcek and I'm the Project Coordinator  
19 for the City of Fontana Public Works Department as well as  
20 the state's energy champion.

21 I'd like to personally thank the Commission on  
22 behalf of the City of Fontana for selecting Gridscape  
23 Solutions to demonstrate the business case for advanced  
24 microgrids in support of California's energy and GHG  
25 policies.

1           We are very excited to be participating in this  
2 grant program. The City of Fontana is the second most  
3 populous city in the County of San Bernardino, which is  
4 located in the Inland Empire, excuse me, which historically  
5 had some of the worst air quality in the state. As a  
6 disadvantaged community we love grant opportunities that  
7 allow us the ability to install projects and programs to  
8 reduce energy and GHGs.

9           In addition to the environmental impact this  
10 grant will have, solar emergency microgrids provide the  
11 City of Fontana additional dependency at our most critical  
12 offensive services (indecipherable), our police department  
13 and city hall. These buildings house our dispatch center,  
14 emergency operations center and traffic control to name a  
15 few.

16           With the infrastructure that this microgrid will  
17 provide, we hope to achieve the ability to plug and play  
18 additional solar and battery storage in the future, help  
19 reduce our carbon footprint to offset peak demand charges.

20           For every dollar that is saved on our energy  
21 costs that's a dollar that could be reallocated back to the  
22 city for services, programs and projects. Thank you for  
23 your time and I thank you for your opportunity.

24           CHAIRMAN WEISENMILLER: I was going to say and  
25 certainly congratulations for having the PUC business

1 meeting in Fontana, I think tomorrow.

2 MR. MATEJCEK: Yes.

3 CHAIRMAN WEISENMILLER: Yeah, so any other  
4 comments?

5 (No audible response.)

6 CHAIRMAN WEISENMILLER: Okay. Again, I'll  
7 transition to the Commissioners now. And I'll talk about  
8 it as the Lead commissioner in this area.

9 Obviously, as we struggle with climate change and  
10 we struggle with the fire issues, microgrids are one of the  
11 key tools to try to respond there. I think certainly on  
12 essential facilities, this is going to be a key role and so  
13 having more of the demonstrations as we try to make it more  
14 of the standard business case is pretty critical. I think  
15 certainly the Port of San Diego is a major logistical hub  
16 for San Diego. And I think certainly for Fontana, we  
17 understand how this can help them. So I think these are  
18 good projects.

19 Obviously we need to deal with adopting the  
20 override too. Again, I think it makes a lot of sense.

21 COMMISSIONER SCOTT: I agree. I think these are  
22 fantastic projects. And again, I want to say thank you to  
23 the ports for being our partners and collaborators in not  
24 just demonstrating clean transportation technologies, but  
25 in demonstrating all types of clean energy technologies, so

189

1 any other comments?

2 Okay. I will move approval of Item 23.

3 COMMISSIONER DOUGLAS: Second.

4 CHAIRMAN WEISENMILLER: All those in favor?

5 (Ayes.)

6 CHAIRMAN WEISENMILLER: This passes 5-0. And  
7 again this includes the override, obviously.

8 Let's go to 24, Jamie?

9 MR. PATTERSON: Good afternoon. I'm Jamie  
10 Patterson of the Research and Development Division. We  
11 released a solicitation on distribution system modeling  
12 tool to evaluate distributed energy resources. This  
13 solicitation went to research and developing improvements  
14 for distribution modeling software tool that can determine  
15 operational impacts and integration strategy for microgrids  
16 and distributed energy resources, including renewables,  
17 plug-in electric vehicles and advanced smart grid  
18 equipment.

19 There were four groups in this solicitation, with  
20 one agreement to be awarded in each group. These  
21 agreements were discussed with the CPUC and can be mapped  
22 to the decision of Commission Picker on grid modernization  
23 that was approved on March 22nd of this year.

24 The first agreement is with Electric Power  
25 Research Institute. This project will develop a microgrid

1 valuation and optimization software tool. The tool will  
2 guide microgrid design and distributed energy resource  
3 deployments. Using the tool will enable greater use of  
4 renewables in a microgrid, where they can more easily  
5 support the resiliency of the utility grid.

6           The second is with SLAC National Accelerator  
7 Laboratory. This project will develop a software tool to  
8 transfer models and data between the various programs that  
9 are used by utilities, distributed energy resource  
10 engineers and regulators in California and part of  
11 distribution engineering, planning and review activity.

12           Use of this tool will lower the ratepayer  
13 interconnection cost for distributed energy resources by  
14 improving the accuracy and timeliness of interconnection  
15 reviews and simplify compliance studies.

16           The third is with SLAC National Accelerator  
17 Laboratory. This project will increase the speed of  
18 Gridlab D distribution modeling software and improve the  
19 performance and accessibility to the community of smart  
20 grid modelers and distribution simulation users in  
21 California.

22           This will enable renewable implementers and  
23 policy makers to model how smart grid equipment, such as  
24 smart inverters, can support greater use of local renewable  
25 energy on the grid.

1           The last agreement is with Hitachi America. This  
2 project will develop an intuitive graphical user interface  
3 for the Gridlab D distribution modeling software that will  
4 provide a user friendly environment for researchers,  
5 planners, developers and regulators involved in advanced  
6 electric grid technology modeling.

7           The benefit of this is it expands the potential  
8 users of modeling from limited use among researchers to one  
9 that may include local communities, developers, public  
10 agencies and other organizations that are interested in  
11 putting more distributed energy resources on to the local  
12 grid.

13           We are requesting approval of the four agreements  
14 and Grant Mack, from the CPUC is here with me today to  
15 support these agreements. And I can answer any questions.

16           CHAIRMAN WEISENMILLER: Thank you. So let's  
17 start with public comment. Grant, great to see you.

18           MR. MACK: Good afternoon Chair and  
19 Commissioners, Grant Mack with the Public Utilities  
20 Commission. I first wanted to say congratulations on all  
21 the Business Meeting agenda items today. Wow! It's always  
22 a pleasure to come back to the Energy Commission and see  
23 the great work that you're doing and, of course, the  
24 interagency collaboration with the PUC.

25           But I'm here today namely to express our support

1 for the four distribution-related projects that Jamie just  
2 mentioned. As the Energy Commission is aware, the PUC  
3 under the distribution resource planning proceeding, with  
4 working with the electric investor owned utilities and  
5 stakeholders to identify optimal locations for the  
6 deployment of distributed energy resources that ideally  
7 will help the state in achieving its many policy goals.

8           These proposed projects will greatly assist the  
9 PUC in these efforts. I do want to point out a number of  
10 examples:

11           The first one, the microgrid valuation tool will  
12 be useful for long-term planning and system modeling as the  
13 tool will identify optimal locations for microgrids  
14 containing high percentages of distributed energy resources  
15 using cost benefit analysis.

16           The tool will also model the optimum combination  
17 of these resources within the microgrid to maximize both  
18 customer ratepayer and societal value.

19           In addition, several of the proposed projects  
20 support interoperability and make distributed energy  
21 resource planning and analyses programs more user friendly.  
22 Supporting interoperability between modeling tools will  
23 open the ability of electric distribution style planning  
24 tools and approaches to not just the PUC, but to more  
25 stakeholders, performing engineering, planning and review

1 activities.

2           Finally, the high performance Gridlab D tool will  
3 help increase the speed of distribution modeling to support  
4 distributed energy resource integration. This project will  
5 add value to the tools currently being utilized in the  
6 Distribution Resource Planning Proceeding, which includes  
7 an integrated capacity analysis and the locational net  
8 benefit analysis, a lot of analyses, by providing faster  
9 processing of information and enabling greater  
10 participation of researchers, planners, developers and  
11 regulators.

12           The PUC greatly appreciates the collaboration  
13 with the Energy Commission on these projects. And we look  
14 forward to participating in the Technical Review Committee.  
15 Thank you.

16           CHAIRMAN WEISENMILLER: That's great. Thank you.  
17 Thanks for being here. We certainly appreciate the  
18 feedback on these and the PUC is really struggling with  
19 finding cost effective DER. And hopefully, we can find  
20 some, particularly this sort of helping tools.

21           Any other comments on this from anyone in the  
22 room? I don't know if Tony Brunello still here? I assume  
23 not. Anyway, any comments from anyone on the phone?

24           (No audible response.)

25           CHAIRMAN WEISENMILLER: Then, again I think we've

1 all heard a good testament on why this is important. And  
2 we should move forward on it.

3 COMMISSIONER DOUGLAS: I move approval of this  
4 item.

5 COMMISSIONER MCALLISTER: Second.

6 CHAIRMAN WEISENMILLER: All those in favor?

7 (Ayes.)

8 CHAIRMAN WEISENMILLER: This passes 5-0. Thanks.

9 Let's go on to 25.

10 MS. WEEKS: Good afternoon, Chair and  
11 Commissioners. I am Terra Weeks, Advisor to Commissioner  
12 Hochschild.

13 As requested, this is a recurring agenda item to  
14 provide updates and offer an opportunity for discussion of  
15 energy equity topics related to the 2018 IEPR Update.

16 On April 20th we held the first 2018 IEPR  
17 workshop in Arcata. The meeting consisted of panel  
18 discussions on the North Coast energy perspective, energy  
19 resilience and microgrids, and offshore wind.

20 A central discussion point was that the North  
21 Coast is energy-constrained due to geographic isolation and  
22 limited electric transmission and natural gas  
23 infrastructure. The area does have strong technical  
24 expertise, particularly at Humboldt State University and  
25 the Schatz Energy Research Center, as well as a community

195

1 choice energy program, the Redwood Coast Energy Authority.

2           One of the successes highlighted in the workshop  
3 was the completion of the award-winning Blue Lake Rancheria  
4 Microgrid, funded through the CEC's EPIC program. The  
5 microgrid provides local energy resilience, reduces  
6 greenhouse gas emissions, supports local clean energy jobs  
7 and saves the Blue Lake Rancheria an estimated \$250,000  
8 annually in electricity costs. Blue Lake just launched a  
9 second solar+ microgrid project that will be located at a  
10 fuel station and convenience store. And the Redwood Coast  
11 Energy Authority is also developing a solar and storage  
12 microgrid at the Humboldt Country Airport.

13           Looking ahead, a key challenge is the ongoing  
14 effort to provide electricity access to remote residents,  
15 particularly members of the Yurok Tribe. More than 50  
16 percent of the Yurok Reservation does not have grid access  
17 and many residents pay a disproportionate share of income  
18 on alternatives, such as gas generators, propane, wood  
19 stoves, and kerosene. Some of the current barriers to  
20 electricity access are the tribe's remote, mountainous  
21 location situated between Pacificorp and PG&E territories;  
22 infrastructure right-of-way challenges; economic barriers,  
23 since so many residents live in extreme poverty and limited  
24 staff resources within the tribal government.

25           Lastly, as the Redwood Coast Energy Authority

1 progresses in the exploration of an offshore wind project  
2 along the North Coast, local stakeholders have expressed  
3 interest in remaining engaged in discussions on how to best  
4 mitigate concerns over potential ecological impacts and the  
5 possibility of opening the door to other offshore  
6 activities, including oil and gas drilling.

7           Next, on May 30th we will hold a joint agency  
8 workshop with the Energy Commission and Public Utilities  
9 Commission, on energy equity in multifamily buildings.

10           At this point, I would like to provide an  
11 opportunity for your discussion. Thank you.

12           CHAIRMAN WEISENMILLER: Okay. Thank you very  
13 much. I mean obviously at this stage we're trying to find  
14 a good opportunity for all of us to talk across various  
15 topics. Certainly the North Coast is a unique area, in  
16 which we haven't had a lot of activities there before. So  
17 I was really glad that that was spotlighted here and  
18 certainly those off your work now on the tribal site,  
19 trying to really up the context there. I don't know in  
20 terms of some of the energy efficiency or renewables, how  
21 to provide some of our tools in that sort of context.

22           COMMISSIONER DOUGLAS: Well, you know just to  
23 step in on that topic, the North Coast trip was really  
24 fascinating, as Tara was saying, from the -- and Mike Sokol  
25 was on that trip as well and my advisors and Commissioner

1 Hochschild joined us for the IEPR workshop.

2           But you know the opportunity to visit the Yurok  
3 Tribe. We had a tribal meeting on offshore wind that was  
4 very well attended. We had meetings with Redwood Coast  
5 Energy Authority stakeholders, with the local environmental  
6 groups, with local fishermen, commercial fishermen, we had  
7 a public meeting.

8           And my overwhelming experience of that entire  
9 three days was like you know we need more chairs. Somebody  
10 run to the closet and find chairs. Who do we call to get  
11 more chairs? Because people were really interested and in  
12 every case we had more people come than we expected. We  
13 had pretty packed rooms. We had to project a lot to be  
14 heard and to have a conversation in this.

15           And it was a really fascinating trip. And it's  
16 clear as Terra said that both that there are tremendous  
17 needs on the North Coast that we're not always perfectly  
18 well tooled to meet and also that there's a lot of  
19 expertise and capacity and thinking and planning that's  
20 gone on.

21           And we were really given a big shout out by the  
22 Schatz Energy Center actually, which pointed out in our  
23 IEPR workshop that the Energy Commission provided some  
24 funding for the Resco (phonetic) that they did up there,  
25 the local planning, that really resulted in a lot of

1 community engagement and partnership building. And some of  
2 the partnerships we're seeing up there with the tribes,  
3 working with the university, working with the community  
4 choice aggregator and working with PG&E as a partner, I  
5 think while they're in unique circumstances, they're real  
6 models. And there's a lot we can learn from them as well.

7 CHAIRMAN WEISENMILLER: Yeah, a friend of mine  
8 grew up there. And she said obviously in the '60s I mean  
9 that was a very depressed area as the forest products  
10 lumber industry sort of disappeared. And at that point,  
11 the only real salvation was the pot industry, which  
12 suddenly started seeing some real money around there. But  
13 at this stage at least there's some potential that shifts  
14 more to the Central Valley, since you don't need the remote  
15 hidden or whatever cultivation.

16 So again, I don't quite know how they're dealing  
17 with those sort of economic shifts.

18 COMMISSIONER DOUGLAS: Yes. We're seeing that  
19 there are economic shifts. And from what I've understood  
20 both the legalization of marijuana in the state and growing  
21 and other economic shifts have pushed land values down, up  
22 there. And we always need to think about a local economy  
23 everywhere we look. And how do our energy policies  
24 interface with the local economy?

25 But certainly in the North Coast I would say that

1 one of the reasons, in addition to very strong  
2 sustainability and regional resiliency it is just this  
3 really strong emphasis on those two factors. But a major  
4 reason why we had so much interest in the potential  
5 offshore wind project up there was the economic side. It  
6 was the investment in a port, the potential for jobs and  
7 the amount of investment and what long-term benefits could  
8 come to the region from being potentially the first area in  
9 California to have this technology, have a project that's  
10 floating offshore wind.

11 And so there was a huge amount of interest in  
12 that.

13 CHAIRMAN WEISENMILLER: Do you have a sense of  
14 how healthy the forests are there? Obviously, they had  
15 some fires in I would say Mendocino last fall. But looking  
16 at the Sierra's you've had this general die-off.

17 COMMISSIONER DOUGLAS: Right. They are not  
18 affected in the same way by the die-off that we're seeing  
19 further south and in other parts the state. However, they  
20 have a different climate. It's certainly much moister  
21 although they do have dryer summers.

22 But the amount of wood, including dead wood in  
23 the forests along the North Coast, as humid as it is  
24 relative to other areas, if bioenergy in some form were  
25 commercially viable and feasible, there would be a lot of

1 wood to be found there.

2           The reality is that while RCEA, the community  
3 choice aggregator, does have contracts with two bioenergy  
4 facilities, those contracts are expensive. And what we're  
5 actually seeing is production of wood pellets for pellet  
6 burning stoves and export of wood pellets out of the  
7 Humboldt Port to places like China.

8           CHAIRMAN WEISENMILLER: Sure. No, again it's  
9 sort of when these projects originally started in the late  
10 '70s. I mean frankly they would pay you to take the wood  
11 waste, which really made the biomass co-gen projects  
12 phenomenally attractive. And having said that the whole  
13 industry shifted, spotted owl and any number of things, so  
14 yeah it suddenly became yeah we're using the wood waste for  
15 these other products. What do you mean you -- you know?

16           COMMISSIONER DOUGLAS: Right. I think the  
17 potential scale up of other wood products is what the  
18 Schatz Center and others up on the North Coast are really  
19 focused on. When we scheduled our IEPR workshop up there,  
20 I asked a number of people whether and how bioenergy might  
21 fit on the agenda. And the answer was really yes, they  
22 have some plants, but they're really focused on other wood  
23 products.

24           CHAIRMAN WEISENMILLER: Yeah. Well, Sierra  
25 Pacific has -- what Picker has said of the various biomass

201

1 projects that have appeared at the PUC, the only ones that  
2 have been economic are Sierra Pacific. And they have been  
3 relatively low cost, more like a couple of cents as opposed  
4 to 20 cents. And so but there you have a whole industry.  
5 It's not just somebody trying to scrape together something  
6 out of it.

7 COMMISSIONER DOUGLAS: Right. Right.

8 CHAIRMAN WEISENMILLER: Do you have any sense  
9 sort of on this energy efficiency side and sense of what we  
10 could be doing more there, if anything?

11 COMMISSIONER MCALLISTER: Well, I've tried a  
12 couple of times to have Arnie Jacobson down here speak  
13 actually. And he's the head of the Schatz Lab. And they  
14 do have a lot of expertise there. They're doing actually  
15 innovative things. We could learn from some of the things  
16 they're doing up there too. They do a lot of developing  
17 country work as well as quite. They've got a really nice  
18 portfolio of activity.

19 But yeah, it's the tail end of the state. It's  
20 relatively economically depressed and resources are always  
21 needed. And older building stock, so I would kind of just  
22 -- well I guess I'll just presume that they have a lot of  
23 the same issues we're looking at in other parts of the  
24 state that are a little bit challenging to get things done  
25 on the existing building front.

1           And the cultivation piece of it I think is not  
2 like everybody's coming out of the woods. There's still  
3 some mow mow (phonetic) back in the woods. Not going to  
4 come out for a while, because I think a number was like 80  
5 percent or something of the production is still going to be  
6 elicited and exported out of the state, even after the sort  
7 of legit economy emerges. So that issue is still going to  
8 be up there.

9           CHAIRMAN WEISENMILLER: I mean, you certainly had  
10 the impression if you were driving around up there like  
11 don't take the wrong turn or have your car break down. You  
12 don't want to end up in the middle of someone's plantation.

13           COMMISSIONER MCALLISTER: Yeah. Yeah. So some  
14 of it will come out of the woods, but a lot of it will  
15 stay.

16           COMMISSIONER DOUGLAS: You know one thing that  
17 struck me when we took our tour on the Yurok Reservation  
18 was that this is a very long river corridor. So the  
19 reservation is along the river. It's about a mile on  
20 either side of the river, pretty much mountainous, so very  
21 steep coming up on either side of the river. And one  
22 reason why it's been so challenging to bring electricity to  
23 some of the more inland parts of the reservation is that  
24 there's not a road along that river. The transportation is  
25 by boat or you have to drive a very long ways around to get

203

1 to the other end of the Yurok, the inland end of the Yurok  
2 Reservation.

3 And so there's a real struggle. And they're in  
4 that struggle and they're getting there in terms of getting  
5 electricity to I think the only public school in California  
6 that runs on diesel generators, on the Yurok Reservation.  
7 And if not the only, I think they said the only, but even  
8 then getting distribution to houses along that river  
9 corridor is very difficult.

10 And then you've got the issue that the houses  
11 that you -- are very often not up to code. So then how  
12 does PG&E connect houses? You certainly are not going to  
13 connect a house if you don't think the electricity system  
14 can, you know with the wiring. Or there is no wiring or  
15 the house isn't up to code. So you're not up to fire  
16 safety, so just the string of challenges even once you get  
17 the basic grid connection down, connecting houses just is  
18 difficult.

19 And then you have other tribes up there. We  
20 spoke with representatives from the Karuk Tribe as well.  
21 And they're from an even more remote, I mean you've got to  
22 drive a couple of more hours to get there.

23 The interesting thing is the Schatz Energy Center  
24 has working relationships with the Yurok, the Karuk, the  
25 Blue Lake Rancheria. And with the Karuk, there is some

1 talk of an end-of-line microgrid. And that's been explored  
2 a bit with the Yurok as well. And so there's an  
3 interesting potential there to think about where --  
4 there're certainly areas where grid connection is  
5 absolutely Plan A and it's really important. And in the  
6 case of the Yurok, they've been working on it for decades.

7 But there are some opportunities for -- PG&E  
8 presented on this workshop for remote microgrids as well  
9 that can help bolster these systems that are on the tail-  
10 end of the electricity system or aren't connected yet.

11 COMMISSIONER MCALLISTER: Yeah. We're in a great  
12 moment to do that. I mean, I did pretty much those kinds  
13 of projects down in the southern tip of Chile, right with  
14 exactly the same set of problems. And obviously everyone  
15 wants the grid first, but stand-alone technology has come a  
16 long way and could totally -- it could be relevant for our  
17 policy.

18 I know there's places like Alaska, they would  
19 deal with these issues all the time. So there is a kind of  
20 a community of knowledge about this. And again, Arne who's  
21 at the Schatz, he's been working with the Yurok for a  
22 couple of decades. So yeah, they have a good pool of  
23 knowledge there. They need resources. I'm sure they told  
24 you they need money.

25 COMMISSIONER DOUGLAS: It might have come up and

1 they do, because it is a very large geographic area with a  
2 lot of potential, but a lot of needs. And as you think  
3 about how do you pull together the resources, for example,  
4 to demonstrate a remote microgrid with partners like a  
5 tribe and other partners? There is absolutely a need to  
6 look for resources and to find ways to leverage and cost  
7 share to get some of these things deployed.

8 COMMISSIONER MCALLISTER: So where does the  
9 access to ratepayer funds play out there, if they're not  
10 actually ratepayers of IOUs?

11 COMMISSIONER DOUGLAS: It's an interesting  
12 question. And the area at the Karuk Reservation that is  
13 kind of being looked at, it's kind of interesting because  
14 it's not -- it's adjacent to PG&E territory. It's not  
15 actually any utility's territory.

16 COMMISSIONER MCALLISTER: Yeah, exactly.

17 COMMISSIONER DOUGLAS: With the Yurok, I think  
18 most of the reservation is technically PG&E, but not all of  
19 it is. And so that does get challenging.

20 COMMISSIONER SCOTT: Yeah, I think one thing that  
21 would be interesting to continue thinking about, as you  
22 mentioned, kind of like the smaller microgrids out at the  
23 end of the line. And we're talking about solar and storage  
24 and electric vehicles, trying to add that into an area  
25 that's that rural that doesn't have electricity in the

1 first place, what types of innovative, creative solutions  
2 can we come up with? Are there leap-frog technologies that  
3 we need to be kind of thinking about or helping spur that  
4 innovation or that research, so that rural areas of our  
5 state can also be part of this clean energy transition?

6 So it's great to hear what you learned while you  
7 were up there. I'm glad you could go.

8 COMMISSIONER DOUGLAS: Yeah, absolutely. And  
9 I'll just raise one more thing, because I thought it was  
10 fascinating. As we were at the Blue Lake Rancheria and we  
11 were part of the ribbon-cutting for the new microgrid at  
12 the gas station and Jana Ganion, who's one of the lead  
13 energy staffers at Blue Lake said, "Well, it does sound  
14 kind of funny to say that we're putting out a solar gas  
15 station, but that's what we're doing and here's why." And  
16 you know people did laugh.

17 But then the tribe mentioned that CalOES is one  
18 of their partners, because of the importance in the event  
19 of an outage, for example of gas stations having power,  
20 because of course without power you can't pump gas. That's  
21 one issue. And as gas stations increasingly also host  
22 electric vehicle charging, or could, they're certainly in  
23 the right physical location to charge. Well, having power  
24 is important for that. They have the convenience store  
25 aspect, which is great if they can still run cash

1 registers, if they can keep food cold.

2 And so actually, you know, solar on gas stations  
3 is the sort of thing that might make a whole lot of sense.  
4 And so it's sometimes these ideas come to fruition in  
5 remote areas first, because they have greater concern with  
6 reliability for example. But they could be very good ideas  
7 and very replicable.

8 CHAIRMAN WEISENMILLER: Great. Thank you.

9 Thanks for your help.

10 Okay. Let's go on to, Michael, anything on 26?

11 MR. SOKOL: Sure, and good afternoon Chair and  
12 Commissioners. Given the action-packed agenda I'm sure  
13 you'd appreciate me keeping this item very brief. And so I  
14 will.

15 Just a couple of items I wanted to highlight for  
16 SB 350. On the integrated resource planning front there  
17 was a workshop that the Air Resources Board held last week  
18 on April 30th, to discuss its staff report that describes  
19 the greenhouse gas target setting process that's been a  
20 joint agency process with the Energy Commission and PUC.  
21 So there is a staff draft report that they put out in  
22 relation to that workshop that's open for public comment  
23 right now. Basically it describes the approach that they  
24 suggest moving forward with.

25 And separately, just this week actually, there's

1 a staff-level webinar here at the Commission to talk about  
2 some proposed updates to our IRP Guidelines for the  
3 publically owned utilities.

4 Separately, just on the forward-looking front two  
5 things I wanted to bring to your attention are a workshop  
6 on May 30th, that looks at an action plan that's being  
7 developed in regards to equity and multifamily buildings  
8 and looking at clean energy opportunities there. So  
9 there'll be a draft published in advance of that workshop.

10 And then the other SB 350-related workshop that's  
11 up and coming is on June 7th, looking at next steps for the  
12 energy efficiency doubling exercise moving forward.

13 And so with that I'm happy to answer any tee-toe  
14 (phonetic) questions you might have or turn it over to you  
15 for discussion.

16 CHAIRMAN WEISENMILLER: Great. Thank you. I  
17 think, let's go to the minutes.

18 COMMISSIONER HOCHSCHILD: Just actually if we  
19 could I just wanted to congratulate Michael on your new  
20 role and promotion to the Renewable Energy Team. Maybe  
21 just take a minute and say what you're going to be doing?

22 MR. SOKOL: Well, thank you, Commissioner. Yeah.  
23 I'm going to be an Office Manager in the Renewable Energy  
24 Division in the Renewable Energy Office and so right now  
25 getting up to speed on the Power Source Disclosure Program

1 that's currently in pre-rulemaking.

2 COMMISSIONER HOCHSCHILD: Yeah, trial by fire.

3 Yeah.

4 MR. SOKOL: Yes. And then increasingly the RPS  
5 side of the house as well and the grid reliability are kind  
6 of a larger program area.

7 COMMISSIONER HOCHSCHILD: Well, let me just say  
8 publicly what I've said to you privately, I've been a big  
9 fan of your work. I've watched you take on some pretty  
10 complex tasks over the last few years and handle them with  
11 great agility and focus. And I'm really, really glad to  
12 have you join the Renewables team. So congratulations.

13 COMMISSIONER SCOTT: And I want to echo that  
14 congratulations to you. And also say thank you so much for  
15 the fantastic work that you have done over the last couple  
16 of years to really herd about a trillion cats all into one  
17 nice very well organized space for us to be able to digest,  
18 to stay on top of, make sure we're hitting all of our  
19 deliverables. I really appreciate the fantastic work that  
20 you've done in that space. So thank you very much.

21 CHAIRMAN WEISENMILLER: Yeah, I know all of us  
22 want to thank you for your help on the 350. It's been a  
23 critical assignment. And you've done well.

24 COMMISSIONER MCALLISTER: All the data work as  
25 well. I don't know how you were keeping all those plates

210

1 spinning, but anyway everything seemed to get done, so  
2 thanks.

3 MR. SOKOL: Great. Thank you, Commissioners.

4 CHAIRMAN WEISENMILLER: Okay. So minutes?

5 COMMISSIONER SCOTT: Move approval of the  
6 minutes.

7 COMMISSIONER DOUGLAS: Second.

8 CHAIRMAN WEISENMILLER: All those in favor?

9 (Ayes.)

10 CHAIRMAN WEISENMILLER: 5-0. Lead Commissioner,  
11 Commissioner Douglas will go first.

12 COMMISSIONER DOUGLAS: So I've already made my  
13 North Coast report. I just wanted to say that last week I  
14 had the opportunity to go to San Bernardino County and  
15 attend a couple of meetings organized by the Chair of the  
16 Board of San Bernardino County and Supervisor Lovingood.

17 One meeting involved renewable energy. And we  
18 had environmental and community and renewable industry  
19 representatives there, Supervisors Lovingood and Ramos were  
20 part of the conversation. It was a really productive  
21 discussion, you know, really about some of the county-level  
22 planning work that's been going on.

23 And I also had an opportunity to meet with some  
24 of the large industrial users in San Bernardino County that  
25 included some of this cement kilns and mines particularly.

211

1 And we talked about their ability and willingness to work  
2 with the state on energy efficiency and demand response and  
3 to be part of some of our grid services solutions and to  
4 potentially do some self-generation as well in their areas,  
5 all of which could be very valuable. And also some of the  
6 obstacles they face in doing that today.

7 CHAIRMAN WEISENMILLER: No. It's a good group.  
8 I've visited there, so is the water district does a lot of  
9 interesting things.

10 COMMISSIONER DOUGLAS: Absolutely. All right,  
11 well thank you very much.

12 COMMISSIONER SCOTT: Sure. I'll just make my  
13 updates to you quick. Last week I attended the ACT Expo in  
14 Long Beach. This was fantastic, because they had on the  
15 floor of the convention center just dozens and dozens of  
16 different types of medium-duty and heavy-duty vehicles that  
17 are also zero emission, battery-electric, hydrogen fuel  
18 cell and others. And to kind of see them all together is  
19 very impressive.

20 I had a chance to talk about the Energy  
21 Commission and the good work that we're doing in that  
22 space. So I'm always happy to tout our program and our  
23 great staff.

24 We also hosted there a workshop on the ZEV  
25 infrastructure, manufacturing and workforce, to really

1 start to hear where people think the opportunities are  
2 there for the Commission to begin our investments. So that  
3 was very well done by Tam and Larry Wheeler and some other  
4 folks on the transportation team. I want to thank them for  
5 that.

6           And then this is the conversation I wanted to --  
7 maybe not a conversation, but just a topic I'd like to tee  
8 up with you not to discuss today. But we had -- I'm the  
9 Chair of the Western Interconnection Regional Advisory  
10 Body, which is all part of part of the Western Interstate  
11 Energy Board work of western states, looking at  
12 transmission, reliability, all kinds of things together.  
13 It's three Canadian provinces, 11 westerns states and also  
14 Mexico.

15           And so our last meeting we had in Vancouver a few  
16 weeks ago. And one of the key issues that's coming up  
17 right now is the reliability coordinator in the west. And  
18 so there are various options for what that could look like  
19 and that's just something that folks across the Western  
20 Interconnect are thinking about. So I just want to raise  
21 that. It's a much broader topic.

22           CHAIRMAN WEISENMILLER: Well, definitely Peak's  
23 (phonetic) got to go now that they're trying to tee up with  
24 PJM. So the ISOs are (indecipherable).

25           COMMISSIONER SCOTT: There we go, so those are my

1 two updates.

2 COMMISSIONER MCALLISTER: So ISO is pulling out,  
3 right?

4 CHAIRMAN WEISENMILLER: ISO, everyone's pulling  
5 out. I mean PJM, once STP was coming in their economics  
6 was fragile. And at this point everyone completely  
7 undercut their costs, so yeah. I remember talking to BP  
8 and ISO a while back it was clear they were out of work,  
9 that Peak's days were numbered.

10 COMMISSIONER MCALLISTER: Yeah.

11 CHAIRMAN WEISENMILLER: They've done an  
12 interesting job. But as I said, they're just not going to  
13 be there.

14 COMMISSIONER MCALLISTER: All right. I guess  
15 I'll just rattle off a few things that I did over the last  
16 month, a really active month since the last Business  
17 Meeting. A full month and just it seems like I've been on  
18 the go a lot.

19 Let's see, congratulations to Commissioner  
20 Hochschild on the Pathways Conference in Berkeley. That  
21 was really nice. That's been since the last business,  
22 right? It was like the day after the last Business  
23 Meeting, I think. It seems like an eternity ago, but that  
24 was fun.

25 I did the Getting to Zero National Forum, which

1 took place in Pittsburgh this year. And basically trying to  
2 carry this message that zero net energy -- we talked a  
3 little about it during the Building Code Update item today,  
4 but that zero net energy really kind of is starting to miss  
5 the mark a little bit in terms of our policy direction.  
6 It's sort of not enough. We've got to take a step further  
7 and a step over to really focus on emissions. And energy  
8 and emissions are kind of diversions in terms of how we can  
9 use them as metrics to gauge power getting along towards  
10 our goals.

11           So we're trying to work with (indiscernible) any  
12 advocates to pull them over to new paradigm, get them to  
13 understand the challenges of the new grid.

14           Let's see, did the Chile California Forum. That  
15 was really nice, a lot of Chileans. It was at the Chamber  
16 of Commerce. There was a lot of building relationships and  
17 just getting up to speed on policy, pretty amazing. They  
18 have very innovative policy down there. We could actually  
19 learn quite a bit from them and economically their whole  
20 population is pretty sophisticated. They get time of use  
21 pricing. They get real-time pricing, in Chile in a way  
22 that our public doesn't really, so how'd they do that?

23           The Utility Energy Forum in Sonoma as well, that  
24 was an interesting conglomeration or gathering of mostly  
25 utility staff and executives from up and down the coast,

1 some from Canada, and then just Seattle, Washington, mostly  
2 the West Coast. Dave Ashuckian was involved in organizing  
3 that one, but kind of a good conversation about utility  
4 business models and CCAs and all the topics of the day.

5 We had Nancy Ander speaking a couple of weeks  
6 ago. It was great. DGS has just turned themselves into a  
7 shining example of what's possible. It's really pretty  
8 amazing actually what they're trying to do and they're  
9 making a lot of progress. And they have a historical  
10 bureaucracy that they have to overcome in a way. And  
11 they're making, they're chipping away and they're making  
12 progress. But they don't have a deficit of vision, which  
13 was definitely pretty obvious in spades when Nancy came to  
14 visit.

15 A couple of Mexico events, I had a sort of a tour  
16 of one of the Mexican officials, was it CRE Commissioner  
17 Montserrat was sort of doing a tour around, checked in at  
18 the Pathways thing in Berkeley and came over here and spent  
19 the day with a bunch of people over here at the Commission.  
20 Interesting, mostly interested in storage. But she'll be  
21 around and her colleagues will be around after the  
22 election. And so there's good relationships to develop.

23 And then I had a powwow under the auspices of the  
24 MOU just last week with the Mexican Consul General on the  
25 clean energy piece of the MOU activities, so anyway just

1 relationship kind of maintenance there.

2 Let's see, and again Stanford gave a lecture on  
3 EE last week that was good. And then we had to wait out  
4 the traffic down there. So you can't really come back this  
5 way until after 7:30, you know, so you might as well just  
6 chill. And so I think they had the system down in Stanford  
7 where they just go up to whatever roof is nearest and  
8 there's wine and cheese there. I think that's part of  
9 their day.

10 So in any case, you get to interact with grad  
11 students and undergrads and some post docs and whoever's  
12 around, you know. And they have some really interesting  
13 stuff going on. You know some of the data work that  
14 they're doing and they can have some resources and funded a  
15 couple of things that (indecipherable). They have a lot of  
16 intellectual resources that could help, if we could figure  
17 out how to make that happen. As well as the intern  
18 program, that's great.

19 And then yesterday, the SoCal Reliability  
20 Workshop, which was worthwhile, it was definitely worth  
21 holding SoCal Gas accountable. So that's it for me.

22 COMMISSIONER HOCHSCHILD: Well, it's been a five-  
23 and-a-half hour meeting. I'll be very brief. But I do  
24 want to just acknowledge Alana Mathews. We had a really,  
25 really fruitful workshop up in Humboldt, which is a five-

1 hour drive to get there. Who's counting? I was counting.  
2 And she did a magnificent job. So yeah, it's  
3 (indiscernible) get to Stanford. We had actually a  
4 fantastic turnout. And it was great to see all the  
5 engagement and really appreciate you facilitating all the  
6 public engagement there.

7 I've been doing a ton of travel to various  
8 conferences. I'll just share one story. I was gone for a  
9 couple of days last week at some conference and I came  
10 back. And I told my older daughter, "Rosa, I really missed  
11 you on this trip." And she's becoming a real smart aleck  
12 and she said, "What, you were gone?" So apparently satire  
13 develops fully by age 12. I'll stop there.

14 CHAIRMAN WEISENMILLER: I took some time off and  
15 I managed to -- came back to go down to Southern California  
16 for Aliso Canyon and reliability, yeah and then to China  
17 soon. But anyway, well it's good to be back for at least a  
18 short time.

19 Chief Counsel Report?

20 MR. WARD: No report out for this meeting for the  
21 Chief Council's Report.

22 CHAIRMAN WEISENMILLER: Okay. Executive Director  
23 Report?

24 MR. BOHAN: No report, Chair. Thank you.

25 CHAIRMAN WEISENMILLER: Public Advisor Report?

1 MS. MATHEWS: Okay. I just have two things that  
2 I want to highlight. First, I'd like to say that we had a  
3 very successful Diversity Career Fair. That's one of our  
4 diversity initiatives that we have.

5 And I'd like to thank all of the deputy  
6 directors, especially Rob Cook for introducing the ability  
7 to have members and participants, not members, but  
8 participants and attendees take testing some of the online  
9 exams as well as collect exams. And then they fill it out  
10 and bring it back, applications for various positions here  
11 at the Energy Commission.

12 But a very, very, very special thank you goes to  
13 Dorothy Murimi who was really the force that made this  
14 happen this year in my office. So I want to say thank you  
15 to her.

16 And I also wanted to introduce Maria Norbeck who  
17 is now the new Executive Assistant in the Public Adviser's  
18 Office. And as we know, when we get phone calls here and  
19 no one knows what to do with them, they send them to the  
20 Public Adviser's Office. And so Maria has very quickly  
21 field a lot of calls, including those that dealt with one  
22 of the most popular items on today's business agenda. So  
23 we can thank her for making sure those people knew exactly  
24 where to go and what time to be here.

25 Lastly, I wanted to mention that earlier today

1 actually I did a webinar for the USDA. So the investments  
2 for our food program and the rate program is getting out  
3 there and there are a lot of rural communities. In  
4 addition to our diversity initiative in reaching out to  
5 disadvantaged communities I've also incorporated reaching  
6 out to rural communities and have started to build a  
7 network with that. So they were very interested. And it  
8 was fortuitous timing that this was on the Business Meeting  
9 agenda today. So they will be signing up for the listserv.  
10 And with that, that's it. Thank you.

11 CHAIRMAN WEISENMILLER: Thank you.

12 Public Comment?

13 MS. MATHEWS: We do have one public comment. It  
14 is from Tony Brunello from Gridworks.

15 MR. BRUNELLO: Apologies, I meant to be here  
16 earlier, so I will not speak long. I'm mainly here to  
17 speak to say thank you for item 24b, c and d, as well as  
18 for the Hitachi grant of looking at a DER roadmap.

19 We are very humbled to be a subcontractor for  
20 four different contracts that were approved today with  
21 Gridworks. Gridworks is focused on decarbonizing the grid.  
22 We've been doing a lot of work for the last ten years we've  
23 been in operation. And in particular on this item where  
24 we're partnering with Hitachi and SLAC, we really think  
25 it's going to be a new day of looking at grid planning in a

220

1 completely bottom-up way where we are partnering with the  
2 PUC, with the CEC, and other entities to make a tool that's  
3 really open and useful for policy makers as well as DER  
4 providers that are really trying to find new ways to  
5 provide grid services.

6 So again, thank you very much and apologies for  
7 not saying this earlier in the day.

8 CHAIRMAN WEISENMILLER: Thanks. Thanks for  
9 coming up for it.

10 This Business Meeting is adjourned.

11 (Adjourned the Business Meeting at 3:33 p.m.)

12 --oOo--

13

14

15

16

17

18

19

20

21

22

23

24


25

**REPORTER' S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 21st day of May, 2018.



---


PETER PETTY  
CER\*\*D-493  
Notary Public

**TRANSCRIBER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 21st day of May, 2018.



Myra Severtson  
Certified Transcriber  
AAERT No. CET\*\*D-852