

DOCKETED

Docket Number:	18-IEPR-02
Project Title:	California's Energy Policy Leadership
TN #:	224109
Document Title:	Transcript of 04/20/2018 IEPR Commissioner Workshop on North Coast Regional Energy Perspective
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	7/10/2018 9:05:00 AM
Docketed Date:	7/10/2018

APPEARANCESCommissioners Present

Karen Douglas, Commissioner
David Hochschild, Commissioner

Staff Present

Heather Raitt, IEPR Program Manager
Scott Flint, Energy Commission Staff
Alana Mathews, Public Advisor

Other State of California Officials Present

Christina Snider, Tribal Advisor to the Governor

Presenters Present

Dana Boudreau, Redwood Coast Energy Center
Jim Zoellick, Schatz Energy Research Center
Peggy O'Neill, Yurok Tribe
Andrea Alstone, Humboldt State University
Jana Ganion, Blue Lake Rancheria Tribal Government
Dave Carter, Schatz Energy Research Center
Jon Stallman, Pacific Gas & Electric
Necitas Sumait, Bureau of Ocean Energy Management
Steve Chung, Department of the Navy
Richard Engel, Redwood Coast Energy Authority

APPEARANCES (CONTINUED)

Public Comment

Jerome Carman, Schatz Energy Research Center

Peter Lehman, Schatz Energy Research Center

Frankie Meyers, Yurok Tribe

James Lanard, Magellan Wind/Copenhagen Infrastructure
Partners

I N D E X

	Page
Introduction	5
Opening Comments	
By Commissioner Douglas	5
By Commissioner Hochschild	7
Christina Snider, Tribal Advisor to the Governor	8
Dana Boudreau, Redwood Coast Energy Center	9
Jim Zoellick, Schatz Energy Research Center	19
Peggy O'Neill, Yurok Tribe	34
Andrea Alstone, Humboldt State University	51
Dave Carter, Schatz Energy Research Center	63
Ms. Ganion, Blue Lake Rancheria Tribal Government	71
Dave Carter, Schatz Energy Research Center	90
Jon Stallman, Pacific Gas & Electric	100
Necitas Sumait, Bureau of Ocean Energy Management	121
Steve Chung, Department of the Navy	142
Richard Engel, Redwood Coast Energy Authority	156
Adjourn	173

P R O C E E D I N G S

9:08 a.m.

1
2
3 COMMISSIONER DOUGLAS: I'd like to welcome
4 everybody to this Regional Integrated Energy Policy
5 Workshop.

6 Most of our Integrated Energy Policy Report -- or
7 IEPR -- workshops that the Energy Commission does are in
8 Sacramento. They aren't always. But we've wanted to do
9 more local workshops and actually bring more of a regional
10 perspective into our State Energy Policy Report and also
11 recognize and acknowledge some of the really impressive
12 work that's occurred on the North Coast in planning for
13 achieving renewable energy and climate goals and deploying
14 extremely cutting-edge microgrid applications that have a
15 real potential to both improve the delivery of services
16 here and reliability and resilience on the North Coast, but
17 also establish some replicable models for the rest of the
18 state.

19 We're also going to have I think a really
20 interesting panel on offshore wind. I recognize a number
21 of people in the room who have been part of our informal
22 outreach meetings that we've done in the last couple of
23 days. I'm really glad that some of you are here, some new
24 faces as well, and we'll have a good dialogue about that.

25 So, I think right now I'm going to see if

1 Commissioner Hochschild or Christina Snider have any
2 opening comments, and then we'll go ahead and get started.

3 Thank you everybody.

4 COMMISSIONER HOCHSCHILD: Good morning. Thank you
5 for being here, all the people from the North Coast. This
6 is my first opportunity to have a hearing here in this part
7 of the state and I'm really happy to be here. I really
8 want to do a lot more listening than talking, but I will
9 say what's happening generally with energy in the state. We
10 are moving very rapidly to a clean energy future. We only
11 had 12 percent renewables in the state of California in
12 2008. We're at 30 percent today. We don't count hydro in
13 that. We're at 48 percent today. And we're on track to
14 not just hit but to exceed the 50 percent renewable energy
15 mandate by 2030 and there will be progress beyond that.

16 If you look out ahead at resources like offshore
17 wind, it's incredible potential. We want to work through
18 all the issues there and hear all the concerns and have an
19 ongoing conversation with all of you about the potential
20 and a path forward there.

21 So, I want to thank all of you for being here.
22 And, Heather, did you want to say anything else?

23 MS. RAITT: Yeah, just a couple of logistical
24 items.

25 COMMISSIONER HOCHSCHILD: Yeah. Okay. Go ahead.

1 MS. RAITT: Hi, I'm Heather Raitt. I'm the
2 Program Manager for the Integrated Energy Policy Report.
3 And just a couple of logistical things.

4 So, we are -- everything is going, broadcast,
5 through our WebEx system so people who can't be here in
6 person can sort of participate remotely. And, also, just
7 wanted to let you know, so we'll be posting an audio
8 recording of today's workshop in about a week. And we also
9 have a court reporter here who is going to be developing a
10 written transcript for us. So in about a month, we'll have
11 a written transcript posted.

12 And all of our materials are posted on our
13 website, and we do have handouts in the back of the room.
14 And we do have a couple of more presentations today. So
15 those will get posted, if not today, early next week.

16 Oh, and at the end of the day we will have an
17 opportunity for public comment so all the folks in the
18 audience can -- we allow three minutes per person to make
19 some comments. And we also welcome written comments. And
20 those are due in two weeks, so on May 4th.

21 COMMISSIONER DOUGLAS: Heather --

22 MS. RAITT: Yeah.

23 COMMISSIONER DOUGLAS: -- Alana is signaling
24 sign-in sheet or --

25 MS. RAITT: Okay. And we have a sign-in sheet.

1 I'm sorry. I can't see that well right now. So, Alana is
2 our public advisor in the back. And if you wanted to make
3 public comments, just go and see her and she can help you
4 get signed up to do that at the end of the day.

5 I think that's it for me.

6 COMMISSIONER DOUGLAS: Christina.

7 MS. SNIDER: Great. I'm just going to stand in
8 place because I don't want to take up too much -- but thank
9 you for having me commissioners.

10 I'm the newly appointed tribal advisor to the
11 governor. I was appointed in February. And my role is to
12 facilitate consultation and relationships between tribes,
13 locals, and state stakeholders.

14 You know, as we approach climate change, it's
15 really essential that we have these relationships
16 solidified and that we're having ongoing communication and
17 that we are proceeding in a respectful manner, you know,
18 taking into consideration all of the different sides and
19 all of the different interests.

20 And I'm interested to hear your ideas today on
21 climate action and how we can collaborate and how we can
22 create those relationships, solidify them, or facilitate
23 them.

24 So, thank you, and I'm looking forward to it.

25 COMMISSIONER DOUGLAS: Thanks, Christina. So,

1 we'll go ahead and start with our panel now. And our first
2 speaker is -- on North Coast Energy Perspectives is Dana
3 Boudreau with Redwood Coast Energy Authority.

4 So, I'm sorry about the cord.

5 MR. BOUDREAU: Start off with a physical exam.

6 (Laughter.)

7 MR. BOUDREAU: Good morning. I'm Dana Boudreau.
8 I'm the Director of Operations at the Redwood Coast Energy
9 Authority.

10 And our agency was started in 2003 with a grant
11 from the California Energy Commission, so we particularly
12 thank the Commission for coming all the way up here and
13 visiting us, being with us directly. Thank you.

14 So, for today, I'm going to give a little bit of
15 background of the realities on the ground in Humboldt
16 County. Then talk about the energy research and planning
17 that we've done to date as a whole. Also talk about
18 actions and strategies toward the future regarding the
19 renewable Humboldt and talk about future opportunities.

20 Just starting off, no real surprises here, we're a
21 remote, rural setting with the usual factors that come with
22 that. We're geographically isolated, so 132,000 or so of
23 us living on a broad swath of California real estate.

24 We have typical rural economics, mostly oriented
25 around resource extraction, initially fishing, and then

1 leading into forest products, now focusing heavily on
2 tourism. And, thankfully, we have a university here which
3 helps a lot economically.

4 Also, we're grid constrained. We're pretty much
5 at the end of the line for both electricity and gas,
6 natural gas.

7 We've got strong local commitment despite those
8 factors of being rural and isolated. One of the real
9 benefits for us is that we've got historical collaboration
10 between academics, government -- local government, state
11 government -- and our investor owned utility, Pacific Gas
12 and Electric Company.

13 So, for some reason we've all figured out how to
14 collaborate together to get good work done. And that's
15 something that's really synergistically worked well for
16 Redwood Coast Energy Authority, because we can serve as a
17 hub to bring those conversations into one conversation and
18 then other work can happen around that.

19 We're very fortunate that the California Energy
20 Commission had that foresight to create a regional energy
21 office. I think there were only two in this state when we
22 were founded in 2003. And the second one turned into the
23 California Center for Sustainable Energy, I think, more or
24 less.

25 Well, anyway, we've had 15 years now of working at

1 public engagements and working on planning and now we're
2 diving pretty heavily into implementation activity. So,
3 it's been a nice progression.

4 And you can see some of our activities on the
5 slide here. And you notice that CEC was involve heavily in
6 a lot of these activities. So, we appreciate the state
7 engagement.

8 One of the major efforts that helped guide our
9 conversation was the Repower Strategic Plan. Again, we
10 worked with the Schatz Energy Research Center and with PG&E
11 to develop this with many stakeholders, about 60 people,
12 were directly involved. And it branched out to the public
13 at large. And the general consensus was, the good news, a
14 renewable energy future for Humboldt is quite feasible.

15 Our goal was to find out can we achieve 70 to
16 100 percent renewables; and at the end of the day, the high
17 lift (phonetic) is, yes, we're going to get a hundred
18 percent for about 15 percent above business as usual.
19 That's pretty attainable.

20 How are we going to get there? Our cheapest
21 solution is almost always energy efficiency. So, no matter
22 what we do, we're going to be doing energy efficiency all
23 the time. It's just a natural component of it.

24 For Humboldt County, biomass, wind, and perhaps
25 more hydro can play a key role for our renewables. And

1 we'll be talking a lot about wind today.

2 We need to switch to plug-in electric vehicles or
3 zero-emission vehicles. And also do fuel switching for
4 domestic and commercial heating because that's the lion's
5 share of our greenhouse gas emissions. So that's going to
6 be an essential component as well.

7 Also distributed generation. Historically our
8 grid wants to push from power plants out to all of us
9 users. Now we have to figure out how do we distribute the
10 generation across the landscape. And that's a tough nut to
11 crack.

12 Coming out of that plan, our basic actions were to
13 pursue biomass energy because we've got some restoration
14 concerns and also enforce fire fuel reduction consideration
15 as well, as I'm sure this last fire season has been a
16 sobering reminder. Again, develop distributed generation
17 so that we can have more opportunities for renewable energy
18 rather than centralized power production. Focus on
19 developing the technology that we need to get past our
20 conventional renewable energy, so what kind of R&D can we
21 do in our area.

22 Also, continue to engage the community. It's
23 really important to us that we have campaigns that bring
24 the public dollars back to all of our great constituents.
25 And we need money. It's always a question of how are you

1 going to fund these projects. So, what can we do to
2 develop those funding sources to help businesses,
3 residence, and government fund these renewable projects.

4 Finally, all of these components really come
5 together in the form of creating community energy supply.
6 What happens here on the ground, taking personal
7 responsibility for how energy is generated and used in our
8 own neighborhood.

9 And that became our main focus, which brought us
10 to a community choice energy program. These programs have
11 been around in the United States, mostly on the East Coast.
12 They've just recently kind of wandered over to the West
13 Coast, and there's over a thousand of them now.

14 It's basically a way for local community to
15 generate -- to take more control over how energy is
16 produced, and to develop their own local perhaps, and to
17 engage their community in the decision-making process on
18 where energy comes from.

19 So, as our stakeholders got together to discuss
20 this, the main factors to address were to have local
21 controlled priorities, which community choice energy does
22 by default.

23 Environmental quality was a concern. You know,
24 everybody on the North Coast is here mostly because they
25 know it's a beautiful area and we want to keep it that way.

1 Economic development is critical as well because,
2 again, we were relying on the resource extraction. There's
3 only so long you can do that, unless you're very
4 sustainable at it. So, you need some form of economic
5 sustainability moving forward.

6 And energy independence. Again, how could we be
7 responsible over the energy that we consume locally.

8 The program was launched in 2017. We have a
9 93 percent participation rate, so the program is doing
10 extremely well and it's stable, which is great. It's
11 always good to get past those big initiatives with success.

12 We've got an initial power mix defined, and I'll
13 show that in a minute. And we've also got new projects on
14 the horizon.

15 Our initial power mix had 12 percent local
16 biomasses.

17 Oh, we have a working mic here? Technical issues,
18 please stand by.

19 What's interesting about local biomass is I think
20 we had about 55 percent biomass in our power mix about
21 20 years ago. So, we've been reducing the amount of local
22 renewable energy. And biomass right now is considered
23 renewable at the state level. So, we're down to
24 12 percent. But this year, it's increasing back up to
25 about 24 percent. And, again, this is where we could work

1 on R&D. Humboldt's not the best for solar. 71 percent
2 installation rate. Any hands in the audience?

3 Never mind. A technical detail again.

4 Where we have solar potential up here because
5 solar costs have really plummeted. So, it's coming. It
6 will be a little slower.

7 We've got wind, but we're buying that out of
8 Washington and Oregon right now. Lots of potential local.
9 Let's see what we can do about that.

10 And also hydropower coming out of Washington
11 mostly.

12 So, generally, we're doing pretty well. Right
13 now, I think we're at 42 percent renewable energy for our
14 conventional mix, and we also have a 100 percent renewable
15 option as well. So, people can pay about \$5 a day for the
16 average residential consumer and have 100 percent
17 renewable.

18 Community purchases are really important to us
19 because we want to maximize the use of renewable energy in
20 the region. But we also had to provide competitive rates
21 because dollar is king in our economy. If we can though,
22 let's give people an option to opt up to 100 percent. For
23 me, I've been waiting for 30 years for the option to
24 operate my lights on 100 percent renewable. As of last
25 year, I could do that. I own an electric vehicle, and now

1 I can drive 100 percent renewable. These are real
2 important things for me, and I hope they're important for
3 the community as well.

4 Through our funding mechanisms that we can
5 develop, we can promote a variety of interesting things,
6 such as, enhanced net metering so that people at their
7 homes can install perhaps a little more solar and get paid
8 full value on that energy. So that creates more of an
9 opportunity to distribute solar across the landscape. You
10 can also work on promoting fuel switching, such as,
11 electric vehicle charging and electric vehicle local
12 incentives. This has been working really well in Sonoma
13 and other places with community choice energy programs.
14 So, there's a lot of potential for these types of projects.

15 At the state level, probably the biggest ask is
16 let's do whatever we can to create energy security and
17 resilience in our remote and rural communities. And I
18 think they -- California Energy Commission -- has been
19 doing a fantastic job with this. The renewable energy
20 secure communities grant that was done in 2009, I believe,
21 through 2012 was instrumental for making this happen. So,
22 I'm really appreciative that the state is paying attention.
23 Much of California is rural so whatever we can do here as a
24 demonstration, has a lot of opportunity for replication
25 through much of the geography of the state.

1 Also, we've got a lot of energy expertise in the
2 North Coast now, that combination of the utilities, the
3 academic research facilities, a local government agency,
4 being able to talk about energy has created an excellent
5 pool of knowledge and background for us to continue the
6 dialogue on energy-related topics.

7 And, finally, we think there's a lot of
8 opportunities for the North Coast to serve as a test bed.
9 We're a finite community. We're pretty engaged as a
10 public, I would say. And there are plenty of opportunities
11 for us to figure out how to advance the energy technologies
12 locally.

13 So, for next steps moving ahead, we need to really
14 work on first at home get our regional renewable energy
15 going, so focus on that business first. Then, also --

16 Hang on, we've got a WebEx-er displayed. Thank
17 you. Great thanks.

18 Also, sea-level rise is definitely a
19 consideration. We have a power plant. We all know the
20 ocean is pretty close. We've got a power plant that is
21 fairly low. We've got substations as well. We have
22 transmission lines. In a coastal community, we really have
23 to consider how that's going to be impacted by rising sea
24 levels. And as groundwater tables rise as well, because of
25 pressure, and we see those are all considerations. So, we

1 can't forget our existing infrastructure. We need that
2 moving into the future to be able to tie in all of our
3 renewable energy resources that's distributed across the
4 landscape. So, got to take care of our infrastructure,
5 too.

6 I personally feel like we really need to
7 accelerate fuel switching capability. Transportation is
8 probably about 49 percent of our local greenhouse gas
9 emission challenge in the north state. So how are we going
10 to get people out of petroleum-based transportation. So
11 that needs extra scrutiny.

12 Finally, we have a wealth of renewable energy in
13 Humboldt County. And so we'll be able to achieve our local
14 vision pretty feasibly. I feel very confident about that.
15 The challenge is what can we do to share that wealth out of
16 our area. We have a very limited transmission line. It
17 can do maybe 40 percent of our peak capacity. So, it's
18 going to be a challenge to figure out how to move that
19 energy out of this region to support the rest of the state
20 to achieve its long-term mandates.

21 That's it. Thank you for your attention.

22 (Applause.)

23 COMMISSIONER DOUGLAS: So, I'm just
24 testing -- testing the mic. Is this working? All right.
25 Good. So, I think that we have a working mic. I'm going

1 to pass this to the next speaker.

2 So, I think we'll go to Jim Zoellick next with
3 Schatz Energy Center, followed by Peggy O'Neill, Andrea
4 Alstone.

5 MR. ZOELLICK: Do you want me to stand in front
6 of --

7 COMMISSIONER DOUGLAS: You can go ahead and stand
8 in the front.

9 MR. ZOELLICK: Okay. All right. It's a slight
10 limbo. I could do the limbo under it, or I could --

11 (Laughter.)

12 COMMISSIONER DOUGLAS: All right.

13 MR. ZOELLICK: All right. Well, actually --

14 COMMISSIONER DOUGLAS: Can you -- is that all
15 right.

16 MR. ZOELLICK: No. I have -- I made some notes
17 for myself which I don't usually do. But that's fine.

18 I have three things to hold: The clicker, the
19 microphone, and my notes, so -- and I only have two hands.

20 UNIDENTIFIED SPEAKER: Here I can advance the
21 slides for you.

22 MR. ZOELLICK: Okay. That would be great. Thank
23 you.

24 All right. Well, good morning everybody. Thank
25 you for being here. Thank you to the Energy Commissioners

1 and the Energy Commission staff for making the long trip up
2 here to the North Coast. We know real well how far it is
3 to get to the rest of the state. So, thank you very much
4 for being here today.

5 And a key point in my presentation today is really
6 about the importance of partnerships. The importance of
7 partnerships for energy sustainability and successful
8 projects here in the North Coast, but really throughout the
9 state. And we really appreciate the partnership that we've
10 been able to create with the Energy Commission in moving
11 these projects forward here on the North Coast. So, thank
12 you for that. And, again, thank you for being here today.

13 So, my first few slides here --

14 If you could go to the next slide. Thank you.

15 My first few slides really kind of, you know, give
16 the take-home message that I'm trying to get across today.
17 And I kind of have a three-legged stool in my message. So,
18 in these first two slides, I hope that comes across.

19 So, the first leg of the stool is that the North
20 Coast has some very unique characteristics in terms of its
21 energy picture. And those characteristics present both
22 opportunities and challenges. And I think you'll see that
23 a number of the things that Dana mentioned, there'll be a
24 number of sort of common threads here. So --

25 Next slide, please.

1 So just to mention some of these unique
2 characteristics. We're geographically isolated. We're
3 essentially an energy peninsula here on the North Coast.
4 We have constrained transmission, both for electricity and
5 for natural gas. And Dana mentioned this. We can't
6 generate all of the electricity we need to serve our load
7 here on the North Coast.

8 Those connections are rather tenuous. There's a
9 single natural gas line. There's two transmission lines
10 that go to the Central Valley that connect us. So, you
11 know, our connection is not all that secure.

12 We have a modest electrical load here on the North
13 Coast. And a very unique characteristic compared to the
14 rest of the state is that we're winter-peaking area.

15 We also have an abundant renewable energy resource
16 portfolio: Off-shore wind, on-shore wind, wave perhaps
17 down the road, and biomass and other resources as well.

18 We have strong expertise here on the North Coast
19 from the university, from the Schatz Energy Resource
20 Center, the organization I'm with, Redwood Coast Energy
21 Authority, and some local contractors and consultants here
22 on the North Coast. We have the Community Choice Energy
23 Program that RCEA has started. And this is just a
24 tremendous asset to help us move our sustainable energy
25 vision forward. And we have a committed and engaged

1 community here on the North Coast that's willing to create
2 the strong partnerships that are necessary.

3 So next slide, please.

4 So the -- the second leg of my stool then is that,
5 what this all adds up to is that Humboldt County is an
6 ideal location for a test bed for sustainable energy
7 programs and projects, for a place that we can explore the
8 challenges and demonstrate the strategies that are going to
9 be necessary to achieve renewables at scale in California
10 and to really create a renewable energy economy, and not
11 just in the current electricity sector but also by
12 converting the transportation sector and the heating sector
13 over to electric and to a green electric future.

14 Next slide, please.

15 So, the third leg to my stool is partnerships.
16 And the importance of partnerships and being key to our
17 success. And some of the photos here are some of the
18 partnerships for projects. It's the Schatz Energy Research
19 Center has been involved with. The one in the upper left
20 is a wind and hydro feasibility study that was funded by
21 the U.S. Department of Energy that we did with the Yurok
22 Tribe. And we'll hear from Peggy O'Neill next.

23 This was a 50-meter MET tower for monitoring wind
24 energy on the Yurok Reservation. A couple of other slides
25 in there are the Repower Humboldt strategic planning

1 workshops with stakeholders. And the slide to the right
2 there is a recent -- the microgrid possibly at Blue Lake
3 Rancheria and that project.

4 So, these partnerships include both local
5 partnerships, but partnerships also with the state and also
6 at the federal and even international level.

7 So federal level, folks like BOEM that was just
8 here to talk with us about off-shore renewable energy. The
9 Department of Energy. We just completed biomass project
10 with the Department of Energy that was under the biomass
11 research development initiative called Waste Wisdom. And
12 lots of partnerships with the national labs. We're
13 working -- the solar plus project that was just celebrated
14 yesterday -- we're working with Lawrence Berkeley on that
15 project. We worked with NREL on the microgrid project at
16 Blue Lake. We worked with Idaho National Labs. And then
17 the offshore wind, you know, possibility here has just
18 brought these international energy firms, EDP Renewables
19 and others, you know, Statoil.

20 And so really the partnerships go from local
21 partnerships to regional, state-wide, federal, and even
22 international.

23 Next slide, please.

24 So, in terms of the partnerships that we've built
25 to date, to put -- to create these successful projects

1 here, this slide kind of shows some of the key partners.
2 And I've left this slide very generic. The next one I'll
3 kind of talk about the specific partners here on the North
4 Coast that we worked with. But I left this one generic
5 because I think that the partnerships that we've developed
6 here is a model for how you can do sustainable energy
7 projects successfully in communities.

8 So, some of the partners have been the state, a
9 university with university research, local government, and
10 perhaps local government and community choice aggregation,
11 the local utility is a critical partner, local tribes, and
12 then vendors and contractors. And this type of model could
13 perhaps be replicated in other rural areas and other
14 communities throughout the state.

15 Next slide, please.

16 So here on the North Coast the entities that have
17 sort of constituted these different partners, so the
18 university is, obviously, Humboldt State University, Schatz
19 Energy Research Center, the organization that I'm with, and
20 then talk a little bit about the roles that these different
21 partners have played.

22 So, there's some of them that are common.
23 Leadership and vision I think really have come from all
24 these partners. I think one of the unique things that the
25 universities can bring are research and analysis, but also

1 planning, project development and implementation.

2 For local government, we have the Redwood Coast
3 Energy Authority, again leadership and vision, project
4 planning, development. I think one of the unique things
5 that local government brings is civic engagement. And then
6 with CCAs the ability to finance projects. That's very
7 critical.

8 Local tribes. And I listed a number of our local
9 tribes here. Many of them that we've partnered with on
10 energy projects here on the North Coast, again bringing
11 leadership and vision, planning and project development and
12 implementation. I think the unique thing that the tribes
13 often bring is the ability to be a project host. And then
14 also sometimes financing.

15 The state and the California Energy Commission,
16 your leadership and vision, funding, and support, and
17 expertise to support your local communities.

18 The utility. So, I think one of the really unique
19 things here on the North Coast is that we've established a
20 really strong partnership with our local investor-owned
21 utility, Pacific Gas and Electric. And I think is
22 especially unique for a community that started a community
23 choice aggregation program.

24 You know, I think the way things have gone that
25 there's been so contention between the IOUs and the CCAs.

1 And here on the North Coast, we really saw that, you know,
2 we need PG&E. They're a critical partner to success here
3 on the North Coast. And so we don't want to alienate them
4 and say we're going to do this without you. No, we want to
5 embrace them and look for ways that we can find projects
6 that benefit our IOU and our local community. And they've
7 been a great partner.

8 And then vendors and contractors and we've had
9 the, you know, the fortune to work with some -- both local
10 contractors that are very important to these local projects
11 and very important to economic development in our
12 community, but also with important project partners and
13 vendors that are from, you know, big international firms,
14 like Siemens, Tesla, and so forth.

15 So next slide, please.

16 So just a couple more slides here. So just a few
17 of our sort of successful projects to date through these
18 partnerships has gone from planning to implementation. So,
19 Dana talked about the Repower Humboldt strategic plan,
20 which really set our vision for the community and some
21 strategies to implement that vision.

22 We've been able to really have some successful
23 projects. We still have a long way to go. But the
24 Community Choice Energy Program is again a great vehicle to
25 allow us to move that vision forward.

1 We have a plug-in electric vehicle network
2 publicly owned by RCEA. That really needs to be further
3 developed, but I think that was a pretty unique thing for
4 RCEA to take on that responsibility here locally.

5 The Blue Lake Rancheria low-carbon microgrid has
6 been a tremendous success. It's really kind of put us on
7 the map as far as microgrids. And it's already lead to
8 additional projects here on the North Coast and additional
9 al opportunities outside of the North Coast. So, the Solar
10 Plus project we talked about -- or celebrated yesterday -
11 is another sort of small microgrid project.

12 And then the ACV airport microgrid. And my
13 colleague, Dave Carter, will talk more about microgrids. I
14 won't go into the details. But that's a, you know,
15 tremendous opportunity. Again, tremendous partnership with
16 PG&E. And we think really has the ability to offer
17 replication for microgrids throughout the state. And some
18 of the work we'll be doing with PG&E in terms of
19 experimental tariffs and things like that will be
20 incredibly important to that work.

21 And the picture here is the Blue Lake microgrid
22 that was just finished recently.

23 Next slide, please.

24 So, couple of slides here are really about our
25 opportunities moving forward. So offshore wind and

1 microgrids are two of the, I think, key areas that we have
2 tremendous opportunity right now. And both of those topics
3 will be covered in a lot more detail today, so I won't say
4 any more about them.

5 The bottom bullet I have here on this slide,
6 Expanded Energy Efficiency Upgrades, Dana mentioned that.
7 Yesterday, Lori Biondini spoke for the RCEA, talked about
8 how, you know, that was really their original mandate and
9 mission and still is today. And she talked yesterday about
10 how they started, you know, one light bulb at a time. But,
11 clearly, that being the, you know, top resource on state's
12 loading order, it's the most economical, there's still a
13 lot of work to be done. And we know our existing building
14 infrastructure, a lot of it was built, the study we had
15 done, over 70 percent of our buildings here were built
16 before there was an energy code in California.

17 We have a tremendously, you know, ambitious and
18 wonderfully aggressive energy code here in California. So,
19 our new buildings are tremendously energy efficient. But
20 the ones that were built before there was an energy code,
21 not so much. And is he we have a lot of work to do there.

22 The other two bullets here, Electrified
23 Transportation and Electrification of the Heating Sector --

24 If you go to the last slide, please.

25 So, I'm not going to spend a lot of time on this.

1 It's a bit busy. But this is a Sankey diagram, an energy
2 diagram that was developed when we did the Repower Humboldt
3 strategic plan. And the numbers and the proportions here
4 are different than the rest of the state and perhaps some
5 other communities. But the take-home message is that the
6 transportation sector is a huge piece of the greenhouse gas
7 emissions pie.

8 And I know that the Commissioners know this, and
9 many people know this, but it's really important, I think,
10 to keep that in mind. If we -- so here on the North Coast
11 we had over 60 percent of our greenhouse gas emissions, we
12 estimated were coming from the transportation sector and 20
13 from the heating sector. So that leaves 20 percent from
14 the electricity sector. If we're 100 percent renewables,
15 we have no greenhouse gas emissions from our electricity
16 sector, we still only have achieved 20 percent of those
17 greenhouse gas emissions, of removing them. So,
18 transportation and heating sectors are really critical.

19 And transportation and electric vehicles are
20 obviously really, you know, coming on strong. We have a
21 lot of work to do here locally. We see that really moving
22 forward. I will just say that we also see fuel-cell
23 electric vehicles as still being an important part of the
24 mix. And battery vehicles have really come a long way.
25 But one example is -- one of our partnerships with

1 California agency, with the Caltrans, both talking with
2 folks at the -- in Sacramento with the state -- you know,
3 the main office of the state, but also here with our local
4 District 1, they see fuel-cell electric vehicles as being
5 critical for them to meet their mandate for zero-emission
6 vehicles. And particularly in rural areas like ours,
7 because for District 1, the distances that they have to
8 drive in their vehicles are such that battery electrics
9 just don't cut it for them for most of their vehicles.

10 And so District 1 has basically told us -- and
11 there's fuel-cell vehicles now that -- you know, we've
12 driven them for years here. We have a fueling station at
13 Humboldt State -- they work. They're wonderful vehicles,
14 but we have no fueling infrastructure here on the North
15 Coast.

16 And if -- Caltrans said if we had hydrogen fueling
17 station here, they would buy a lot of fuel-cell vehicles and
18 would use them. And so we've been looking at that
19 partnership and trying to figure out a way to do that; but,
20 you know, that's an important next step, we think.

21 And if we have -- so if we had a lot of -- let's
22 say we have offshore wind and we haven't upgraded the
23 transmission -- which that would be an important thing as
24 well -- we could be generating hydrogen for vehicles and
25 leading that transportation sector.

1 COMMISSIONER HOCHSCHILD: Can I just ask a
2 question about the EV side of --

3 MR. ZOELLICK: Certainly.

4 COMMISSIONER HOCHSCHILD: Can everybody hear me
5 okay, or --

6 So, we're adding about 12,000 electric vehicles a
7 month now in California. Next month, we'll hit 400,000.
8 Obviously, the state just set a new goal of 5 million,
9 zero-emission vehicles about year 2030. Thank you very
10 much. And that, by the way, raises electric load eight
11 percent. Okay? So, this is where the nexus with offshore
12 wind and renewables is. But I'm just curious, you know,
13 most of the growth with electric use has been around bigger
14 metropolitan areas, the Bay area, LA, and so on. There's
15 challenges in the more remote areas. The ranges are longer
16 and so on.

17 But I'm just curious are there any special rates,
18 for example, that the CCA is offering here to encourage
19 electric vehicle adoption, or what's the strategy you've
20 seen around EV charging infrastructure locally?

21 MR. ZOELLICK: So, I'll just say one thing I
22 can -- and then I can hand it to Dana --so definitely this
23 public charging network -- which is how many stations now?

24 UNIDENTIFIED SPEAKER: 14.

25 MR. ZOELLICK: -- and largely funded by -- first

1 the planning and then the implementation by the AB 118
2 program from the California Energy Commission.

3 So, a number of stations have gone in. The RCEA
4 has done a number of ride and drives. But in terms of
5 actual incentives, certainly with the CCA, there's that
6 opportunity.

7 Dana can you say more about that or ?

8 MR. BOUDREAU: Yes, thanks.

9 We've just launched the CCA, so we're still in the
10 stabilization mode. But we're working out the variety of
11 projects that we work on. Transportation will figure
12 highly in that. Probably one of the first things that I'm
13 going to promote is incentives for electric vehicle
14 purchase. We're a rural area, so used vehicles are a major
15 component. There really are very few incentive
16 opportunities for used vehicle, so we'd like to see if we
17 can figure that one out.

18 Also, incentives for Level 2 charging at home, for
19 panel upgrades because that's a real bottle neck, and also
20 in our electric vehicle network, charging network, we
21 subsidize using our program. So that's been really
22 helpful. We absolutely want to keep our costs well below
23 gasoline per mile cost.

24 COMMISSIONER HOCHSCHILD: Great. That's really
25 good to hear. I really encourage you to engage with Sonoma

1 Clean Power. They have done, I think, a lot of primary
2 work on how to best incentivize their customers to go EV.
3 And the other point that I want to make is that one thing
4 with electric vehicles, they actually are a downward force
5 on rates over time because you're -- unlike solar or
6 efficiency where you're then using less power and you're
7 distributing that fewer kilowatt hours, the cost
8 incurred -- this is expanding of use and so your fixed
9 costs can be spread over more energies.

10 But, you know, I really want to encourage you to
11 keep current. It's good to hear.

12 MR. BOUDREAU: Yeah, thank you. We're fully
13 engaged with Sonoma on that --

14 COMMISSIONER HOCHSCHILD: Great.

15 MR. BOUDREAU: And we also -- one of the reasons
16 why we talk about tariffs is that gives us the ability to
17 experiment with addressing the duck curve and dealing with
18 excess renewables and charging and getting more dynamic
19 behavior on power --

20 COMMISSIONER HOCHSCHILD: By the way, the last
21 thing that occurs to me, we just got given \$75,000,000 to
22 give away for electrification of school buses, which is run
23 by our colleague Commissioner Janea Scott. And that's
24 for -- it's going to be rolling out this year, and that's a
25 big opportunity. There's a big renewable integration for

1 that as well, because the buses are plugged in during the
2 day when you have surplus renewable generation. So that's
3 an opportunity that's just going to be (unintelligible) as
4 well.

5 MR. ZOELLICK: Great. And that actually ends
6 up -- my last (unintelligible) about electric -- the
7 heating sector and (unintelligible), but so that's the end
8 of my presentation.

9 Thanks very much.

10 COMMISSIONER DOUGLAS: Thank you very much.

11 (Applause.)

12 COMMISSIONER DOUGLAS: So, we've now made it
13 easier to get to the front of the --

14 MS. O'NEILL: I'm not going to go up there.

15 COMMISSIONER DOUGLAS: If you'd like to sit down,
16 that's just fine.

17 MS. O'NEILL: I don't think (unintelligible) very
18 low. (Unintelligible) slip and fall. So, I'll wait
19 for -- we're going to kind of go in a different direction.

20 Our project is probably not about innovation, it's
21 about perseverance and challenge and trying to get up to
22 the same point everybody else was. Because on the Yurok
23 reservation, probably two-thirds of the reservation were
24 not electrified. I tried to figure out why, but I think
25 the closest I can figure is that there was going to be a

1 dam at Blue Creek. And all of the reservation that's not
2 electrified was going to be under water. And so I think
3 they just didn't bother.

4 And back in the day when people were putting in
5 lines, they didn't follow --

6 UNIDENTIFIED SPEAKER: Peggy, your microphone. Can
7 you turn it on?

8 MS. O'NEILL: I just don't want to start
9 squeaking.

10 -- they didn't follow environmental laws like we
11 do now. You know, often types they used -- they didn't
12 have prevailing wages. So, distribution lines were put all
13 over the state of California, but they were not put on the
14 upper portion of the reservation.

15 There was a lot of resources that were being
16 extract the up there. There were phones for a while, but
17 later those were taken out because they had copper wire
18 when the timber companies left.

19 So, in 2000, when I started working for the
20 tribe -- two things -- three things to do here.

21 (Laughter.)

22 We were trying to figure out what direction to go.
23 Do we just go all renewable? And doing renewables without
24 a distribution system is very problematic, especially in
25 our area where we have fluctuating weather patterns. We

1 have great sun up river, in the summertime, not so great
2 because of the trees in the winter.

3 So, then you go, well, maybe we'll go biomass.
4 And, you know, there were so many opportunities that it was
5 really hard to sort through. There was even a point where
6 I went to the council and said, let's create our own phone
7 company our own power company. And I brought in -- they
8 thought I was crazy I think. It was like, what are you
9 thinking, you're going to run your own power. Maybe now it
10 makes sense, but in 2000, it didn't make so much sense.

11 So, these two pictures here kind of show you some
12 of the challenges. That's not Photoshopped on the left.
13 That's actually the Department -- the military, we brought
14 in the military to help us put in some of these difficult
15 lines. And they have -- the military has an innovative
16 readiness program. They come into communities and they
17 practice, you know -- they're getting along in communities.
18 The problem was then we actually went to war and they
19 didn't need to practice anymore, so we were unable to
20 continue to use them every year.

21 But they actually brought in -- they have people
22 that are in, you know, PG&E equivalents that are on the
23 East Coast that -- you know they're very experienced. And
24 we brought them in. At first, we introduced them to PG&E
25 and they weren't really sure what we were up to, but they

1 realized quickly that these were their counterparts and so
2 that was fine. And they were great. You have -- they paid
3 for all of their own labor, their own heavy equipment. We
4 had to provide all the materials. But they are only there
5 for a short period of time, so if you want them to finish,
6 you have to keep up with them because they're all business.

7 On your right, that's just to show you what we're
8 up against when we're putting in poles. We actually put
9 poles up that hill. One of the largest poles on the
10 reservation was put on that hill and then it burnt up in a
11 fire and we had to replace it -- or PG&E had to replace it.

12 So that's just one of the biggest challenges.

13 So how does this thing work.

14 UNIDENTIFIED SPEAKER: There you go.

15 MS. O'NEILL: So, this is the reservation. The
16 reservation is about 50, 60 miles long, a mile on either
17 side of the river. And it goes into two counties. We also
18 have two power companies, we have Pacific Power in Del
19 Norte County, and in Humboldt County, we have PG&E, which
20 is another challenge.

21 Hydropower provides power to the Del Norte section
22 of the reservation. We're also the end of line on two
23 power companies. So, we're the disconnect in California
24 between Oregon and California.

25 You can see we have some ability to have

1 hydropower. There's our river and some of our larger
2 creeks.

3 I keep wanting to tell somebody else to turn, but
4 it's me so I better pay attention. Oops. Maybe you should
5 do this for me, because I can't do two things at once.

6 Okay. So, this is the history of our grid
7 projects that we did. They started actually in 2000,
8 because we had to do a year of design. And then these are
9 the years of construction. And then they are kind of
10 color-coded to have the right.

11 But we've so far done about 30 miles and it's cost
12 us about \$19.2 million. And I have to say that if someone
13 walked in and said here's all the money you need to do this
14 project and don't worry about right away and don't worry
15 about cultural and environmental issues, I probably would
16 have finished this project in about three years. But the
17 challenges that you face when you're in the areas that
18 we're in turned it into a 20-year project basically before
19 it will be done. We will have power to the end of the road
20 by next year. We're always up against weather. We're
21 doing a large swath on this last phase of underground
22 through a very highly cultural area, so that was determined
23 to be the best course to go through that area.

24 We're also going along the highway. And we have
25 one-lane state house, and so that's problematic, too.

1 The next one.

2 This is the upper reservation, and this is the
3 project from the beginning to the end that we've been
4 working on for the last 18, 20 years. And the circled
5 areas are areas that are still not electrified. So, while
6 this is this big project to electrify the reservation, it's
7 really only accomplished a partial electrification.

8 We still have another third of the reservation in
9 between Humboldt and Del Norte County that has no
10 electricity, but it's an area that people lived in
11 traditionally and maybe someday would like to live again,
12 but because of the lack of a good road system, phones, and
13 power, they've concentrated in areas. And that's kind of
14 been an issue.

15 We also have, you know, you can see the borders of
16 the reservation. But the ancestral areas are, you know,
17 beyond there. There's over, you know, it's 60,
18 80,000 acres of ancestral territory that is beyond the
19 reservation. So, a lot of our critical areas for wind are
20 in the high country, which is also very significant
21 cultural to the Yurok people.

22 So, we still have a long way to go. You know, it
23 seems like we've made a lot of progress in putting in
24 distribution lines, but, you know, now we're ready to kind
25 of keep going. And I don't think this is going to stop.

1 It will certainly out last me.

2 So, I put this first because I cannot
3 underestimate what right-of-way challenges have been to
4 this project. Probably if I'd known how hard this was
5 going to be, I don't know if I would have even taken on
6 this project. But getting right-of-way, I could write a
7 book on stories about right-of-way. We've had people -- we
8 have absentee landowners who don't answer the phone when
9 you call, don't answer letters, gets thing in the mail and
10 just throw it to the side. And so you're literally, you
11 know, are stalking these people and chasing them down. In
12 some cases, they haven't done probates on property for
13 several different owners. And, you know, you have stories
14 about a man and woman -- this was 30 years they had been
15 divorced. And he had got the land in the divorce, but it
16 had never -- the paperwork had never been done. So, we
17 literally have to -- you know, these people hated each
18 other, and we had to be the conduit between them to finish
19 this process. And then the man died. The week we can that
20 he was going to sign the probate, we call him up, and he
21 had died. So, we had to start all over again.

22 But that's just one example of many that I could
23 give you on what it takes to get right-of-ways.

24 We have highly fractionated Indian trust
25 allotments, which means you could have a thousand owners.

1 And that's another problem and a challenge.

2 And the tribe has no tribal right-of-way
3 condemnation powers. This is something that's
4 unbelievable. Your gas lines that go through, your oil
5 distribution lines, they can condemn. Counties can
6 condemn. The utility companies can condemn. But tribes
7 cannot condemn. So, we have to go through, you know, just
8 stalking people, showing up, trying to be nice, you know,
9 doing everything. We would actually have our office of
10 tribal attorney start their probates for them so that we
11 could have executors assigned. It's been the biggest
12 nightmare of everything. Like I said, if I didn't have to
13 worry about this problem, we could have done a long time
14 ago.

15 The picture off to right, I want to just call out.
16 On the right you can see that, that's not a PG&E pole.
17 That was actually a family that created their own power for
18 their family. And so they -- this was a nightmare for
19 PG&E. We had a standoff. They weren't going to take their
20 power down until the other power went on and PG&E was like
21 there's no way we're going near that thing, that looks
22 like -- so we had to negotiate between the two entities to
23 be able to do this, you know, shift where one goes down,
24 the other one goes on.

25 But I want to show you that people were

1 innovative. They created their own hydro system. And
2 several families that were connected ran off of that
3 system.

4 We can go to the next one.

5 This is a picture of kind of where everybody
6 lives. But it shows that off-grid renewable energy sounds
7 really great, but if you've ever had to live like that
8 where you don't have a grid, it's very problematic,
9 especially if you're living in poverty, if you're an elder,
10 you need batteries, they're expensive. It was costing
11 about \$25,000 a house to get a solar system when you don't
12 have a grid.

13 So, getting -- we went back and forth and not
14 having been an expert on energy at all when I started this,
15 and I'm probably still not, it was what direction do you
16 go. And we -- it sounds really good to have everybody off
17 grid all renewable, but it's not. You really do need PG&E.
18 Like you said, it's a partnership. And it's a partnership
19 that we've built. I'm not going to say it's always been
20 good. It's much better now than it was in the beginning.
21 You know, it's a different lifestyle up there. And
22 sometimes when people go into a community, we have the
23 tribal community, we have a lot of poverty, but we also had
24 a lot of illegal Cannabis growing up in that area. And so
25 you're literally taking PG&E workers into places and

1 they're just blown away. You know, but that's what we had
2 to do to get this project done. And so we've developed a
3 pretty good relationship now.

4 We haven't had to deal as much with Pacific Power
5 because, like I said, Del Norte County has been
6 electrified. We've just done some smaller projects with
7 them.

8 So, you want to keep going.

9 So, a large percentage of the population up there
10 is in extreme poverty. And when you mentioned about houses
11 not being up to code, we can't just put electricity in a
12 house that looks like this. And this is pretty
13 representative of a lot of the housing up there.

14 So, you have to get their home ready. PG&E is not
15 going to turn power onto something that is going to burn
16 down and start a forest fire. So, in addition to bringing
17 in distribution, you know, it's like do you put solar
18 panels on a house that, you know, needs a new roof? So,
19 there's so many more challenges than you might have taking
20 electricity to a city, you know, taking it to a very rural
21 population.

22 Also, we don't have a lot of discretionary funds
23 and we don't have a lot of staff that we can just put on
24 one project. And really you do need to have an energy
25 planner or manager, somebody that's just working on this

1 all the time. And, you know, in addition to not having
2 electricity, we didn't have phones, we didn't have -- all
3 of our water was boil-water notices when I got there. You
4 know, we didn't have a road system. You know, it's ironic
5 because we're on the Klamath River which, you know, it's
6 fed by the Trinity River, which are big energy producers
7 for other people, but nobody seemed to, you know, say,
8 well, gee, what are you guys doing down there with no
9 power, no phones? Let's help you out.

10 Everything that we have done has been us going
11 after grants, having to come up with matches, and the
12 matches have gotten higher. So that's you know, and
13 competing. Early on, we went back to DC, my first trip to
14 DC, I lost my luggage and I had to lobby in my jeans. But
15 they must have thought we were really needy. But we went
16 to [USDA's] R.U.S. and they -- when we told them we had
17 schools without power, we had schools without phones, they
18 really kind of adopted us and they've seen us through to
19 the end of the road. And they've been a good partner. But
20 still we have to complete. You know, we have to write a
21 grant. We have to tell our story. We have to meet all of
22 the benchmarks to get funded. And that's what we've done
23 all along. There's -- no one has ever walked up and said,
24 this isn't right. Here's a check. No, that has not
25 happened.

1 The next slide.

2 So still 50 percent of the Yurok reservation does
3 not have grid electricity or phones. That's still a
4 challenge that we're going to work on. But, as you can
5 see, the distribution of where people live, there's not as
6 many people in the mid-section. But going into the future,
7 I really do feel that those are areas where people will
8 want to live again. And we're going to need to plan for
9 some form of electricity in those areas.

10 Off-grid residents pay a very disproportionate
11 share of their annual income. You know, in the very
12 beginning when I was writing these grants for R.U.S, it was
13 shocking to me, you know, to -- you know, you go home on
14 you turn on your microwave and your TV and you dry your
15 hair and all of those things that you do, people did not
16 get to do on the reservation. They had to have gas
17 generators. The school -- Jack Norton School is still run
18 on a gas generator, which is in total violation of -- when
19 we called up -- we called up Sacramento, the school
20 superintendent, one time and said, "Do you know we have
21 schools without phones and electricity?" And they were
22 going to shut them down. So, we were like, well, we better
23 not call them again. But they still are on generators.

24 And you have to have propane appliances. They're
25 very expensive and they're not as large as some of the

1 other appliances. You know, you have to have wood stove,
2 propane, kerosene, wood fuel and the cost is so high that
3 most people don't have all of the above, you know. So,
4 they literally did without most of the time or they had,
5 you know, they would turn on the generator a little bit,
6 they'd turn it off. You know, so for a large portion of
7 their income that they really didn't have, they were only
8 getting part-time electricity because they did not have
9 grid power to back up. You know, so when it's raining and
10 your solar system is not working or -- you know, you just
11 turn on the -- and the nightmares like going into people's
12 houses where they have one extension cord that like snakes
13 all over the house and -- it's like what you would
14 encounter during a disaster is like everyday life.

15 So, we've had challenges. The lack of the back-up
16 grid somebody has already mentioned, the seasonal varying
17 weather patterns -- we have completely different weather
18 from the upriver to the -- you know, yesterday, when I was
19 at Blue Lake I was sitting there a while and listening.
20 And I was excited for them. All I could think of is, I
21 wish had it this easy. Because we can't just build one
22 system. You know, we have to build them every way.
23 Because it's 50 miles, you know. And there's communities
24 all over the place.

25 We always do not have -- although this is changes

1 as the tribe has acquired more and more lands -- we don't
2 always control the land that is the best place to put
3 things. Ironically other people bought them, and so we
4 don't have those.

5 We also have very mountainous terrain with
6 high-density tree cover, which you could see, you know,
7 viewing those -- just putting in that anemometer from DOE
8 was like -- we had to clear all these trees and it was
9 very -- everything is expensive. Clearing for anything is
10 very expensive. It's one of your higher costs.

11 We have numerous cultural resources in these
12 areas. High country are very sacred areas for Yurok
13 peoples. It's where they have their dances and prayer
14 spots. And so as soon as you find something and you think
15 it's going to be a great place, the next place you go is to
16 culture to find out if you can even think about doing
17 something there.

18 We also have salmon and steelhead, same thing.
19 Here's a great place to put hydro system, and then they go,
20 no, that's not going to work.

21 So, I've become very callous, I guess, over the
22 years. I could -- you know, bring me onto any project and
23 I'll tell you all your problems you're going to encounter.

24 There's a high debt-to-revenue -- I hope I'm
25 saying this right -- for capital loan paybacks. So, if you

1 go in and you say okay we have hydro system, then you have
2 to figure out if you can repay the loan. And sometimes you
3 can, sometimes you can't, depending on the cost of energy.
4 Same thing with biomass. You know, if the price of energy
5 is really high, biomass makes a lot of sense, except for
6 then you've got large haul costs, too, because fuel costs
7 are up.

8 So, you have to -- the economy of having renewable
9 energy always doesn't pencil out all the time, so -- but we
10 do have opportunities. Even though I sound nothing but
11 negative, we have the Klamath River and we have the
12 tributaries of the Klamath River. And what I think is, you
13 know, you can see all the different opportunities that we
14 have, but I think we can't just rely on one, we have to
15 rely on multiple ones. And, you know, we would like to see
16 a day -- and that's why we're working with Schatz right now
17 to develop a Yurok strategy, energy strategy, and action
18 plan, sort of like your repower plan because you could
19 really bounce all over the place with this.

20 And if you don't stay focused -- we did a
21 transportation plan, and that's worked out good for us.
22 So, we really see the value now of having an energy plan
23 and not having it just be something that's in my head and,
24 you know, letting people work on various different
25 components of this. And we could be working on this

1 forever, basically. Right? Yeah. No shortage of
2 projects, just funding.

3 And like everyone else, this -- you know, I don't
4 think anyone in the room doesn't believe that, you know,
5 everyone wants to have affordable, cost-effective energy
6 services. We want to have a tribal energy program that
7 promotes self-sufficiency, environmental sustainability,
8 reliance on renewable resources, but we also want jobs.
9 And we want economic opportunity, also, whether it's in
10 generating power or having businesses that depend on hour,
11 we cannot continue -- we're the largest tribe in
12 California. And every time I write a grant and I say we're
13 the poorest, largest tribe in California, I wish I could
14 not say that. You know, I mean being large is fine, but I
15 don't want to be known as the poorest tribe in California
16 when we have so many resources available to us. And so
17 many other people that have taken advantage of those
18 resources. You know, we have a history of -- we're up
19 against this right now with cannabis -- you know, competing
20 with other people wanting our resources. And yet we're
21 never getting anything out of it. And we have to turn that
22 corner and not just always be, you know, trying to catch
23 up. We need to be a leader someday. And I hope that some
24 of the younger people in the tribe will be able to make
25 that turn away from poverty.

1 Thank you.

2 (Applause.)

3 COMMISSIONER DOUGLAS: So, thank you, Peggy. And
4 I just wanted to say a number of comments. The people on
5 the state team who came up here the last couple of days had
6 an opportunity to visit the Yurok, and we really appreciate
7 you Peggy and Gino and others just taking the time to meet
8 with us and to give us an opportunity to really see what
9 you're up against here. I really like the idea that you
10 have of , you know, finding a way to create a plan, an
11 energy plan that, you know, engages the tribal people on
12 the Yurok reservation and really kind of creates a vision
13 that you can work to implement. We've seen that be
14 successful in other places. But I also want to commend you
15 for your persistence over decades of work to try to bring
16 electricity to the reservation because it's -- as is clear
17 from everyone who listens to you and as was clear from our
18 visit-- it's a tough project. And you've made tremendous
19 progress, as much as I know there's work to do and work
20 ahead, you've made tremendous progress.

21 I think we'll finish the panel, but I'll put a
22 question your direction for when we get into some panel
23 discussion, which is in terms of partnerships, I know that
24 the Yurok Tribe has worked with PG&E, I know you've worked
25 with Schatz, I know that you probably have had some other

1 regional partners, I'm interested in your thoughts on kind
2 of effective regional partnerships and how to strengthen
3 that and help build that towards coming to fruition on
4 planning and on bringing projects, you know, on the ground
5 to benefit people.

6 But thank you.

7 Andrea.

8 MS. ALSTONE: Hello. Can you hear me? Am I
9 coming through?

10 So, thank you. I just want to say thank you for
11 inviting me to be on this panel. I'm Andrea Alstone, and
12 I'm the energy planner and analyst in facilities management
13 at HSU. And I just wanted to touch on things that were
14 more sort of unique to HSU. I think Dana and Jim did a
15 really good job of pointing out the opportunities and the
16 challenges in Humboldt generally, so I didn't want to
17 repeat a whole bunch of that stuff.

18 So just some statistics about HSU. We have about
19 7,600 students across 51 majors and 12 graduate programs in
20 our three colleges. We have about 600 faculty and a
21 similar number of staff. We've got about 114 buildings on
22 our campus. And I think we might be the largest energy
23 user in the county. We use about 13 million kilowatt hours
24 a year with our peak demand of 2.1 megawatts, usually it's
25 about two megawatts typically, and about a million therms

1 of natural gas. And we are a direct-access customer, so we
2 don't participate in the community choice aggregate, and we
3 are non-core gas users, so we also use third-party gas
4 suppliers. And those contracts are negotiated with the
5 Chancellor's Office for the CSU, so we don't have -- I
6 mean, we have say in who chooses them -- but we don't
7 directly get to choose who our energy providers are. I
8 think about half of the CSU campuses are direct access. A
9 little background.

10 So, some of our challenges -- and it was mentioned
11 a little bit earlier -- but is building age. So, our
12 average building age on campus is 45 years old, and that is
13 accounting for square footage. And so with that building
14 age comes a long list of deferred maintenance throughout
15 campus. And that deferred maintenance is only aggravated
16 by the ongoing budget crisis which is happening right now.
17 We're cutting something like \$9 million from our budget for
18 the next fiscal year, more than \$1 million of that is
19 coming from our facilities' budget, which will just make
20 that deferred maintenance list even longer.

21 And kind of compounding that from the facilities'
22 view is that when we do projects to save energy around
23 campus, we don't get to actually realize the savings from
24 that because they're sort of different pots of money. So,
25 the money that goes to pay for the utility bills is

1 different from the money that goes to pay for these various
2 projects. So that's -- it's a big challenge, particularly
3 from my perspective as the energy planner.

4 And then, of course, there's climate adaptation in
5 our coastal community. You can see from this picture,
6 we're right by the bay. And as sea-level rise happens,
7 we're going to be affected. The university itself, I
8 think, is out of the all the sea-level rise projections;
9 but our community at large is not. And so that's going to
10 be a big challenge.

11 And so some of the opportunities, though, we're
12 fortunate in that our campus has done a lot of planning and
13 is taking climate change seriously. And so we've done some
14 strategic planning, and part of that is our climate action
15 plan, which is our roadmap that's trying to reach some of
16 these sustainability policy goals that the Chancellor's
17 office has laid out. Our campus has fully embraced those
18 opportunities, and so we did a very collaborative process
19 for getting a lot of stakeholder buy-in for how we're going
20 to reach our climate action goals, our climate adaptation
21 goals.

22 We also have a lot of student involvement, even
23 for our city. So, students are important, but we have the
24 Humboldt Energy Dependence Fund, which is a tax on
25 students. Students voted to tax themselves so that they

1 could have a pot of money to do interesting projects. And
2 these projects are all student ideas and they're kind of
3 developed by students, and it's great that students have
4 that foresight.

5 And, of course, we've got the Schatz Energy
6 Resource Center, which is housed on our campus, which is
7 doing all kinds of really interesting and innovative
8 research. So that is definitely an asset to us. And as
9 has been mentioned before, we have a really engaged
10 community of energy professionals. I mean, we just have a
11 lot of collaborations. We know each other. We really well
12 together. And that's just something that's really great to
13 be around.

14 And then I'll just highlight, the students, the
15 past, the present, the future students. There are a lot of
16 HSU alum in this room, on this panel, and they're doing a
17 lot of really cool stuff. And I think that's really what a
18 university really brings to the, you know, the game: Our
19 students.

20 And so just to talk a little bit about our climate
21 action plan. The main goals are to reach a 1990 greenhouse
22 gas levels by 2020. We're actually there. And then
23 80 percent below 1990 levels by 2030 -- by 2040 excuse me.
24 And our president has kind of put out are what she calls
25 the moonshot, which is to be climate neutral by 2030 and

1 potentially negative after that. So, that's a pretty
2 ambitious goal, but this really sets the stage that, you
3 know, we take this stuff seriously on our campus and it's
4 really important in our climate goals.

5 And so our climate action plan has 55 strategies
6 across all levels of transportation and curriculum, but
7 really the largest opportunity is from electrification.
8 And I point out heating, specifically, because in our
9 climate action plan, we didn't look at the transportation
10 of commuters coming to and from campus. So that would
11 change the picture substantially, but, you know, as has
12 been mentioned, we have a lot of -- we're a winter-peaking
13 load, with our natural gas, we have a lot of really old
14 furnaces and boilers that are heating our old building.
15 So, moving over to electrification really is our biggest
16 opportunity.

17 And just to date, we've, you know, started action
18 on about 22 of those strategies. So, it's happening on our
19 campus, and it's really great.

20 And then I'll just touch on some of our resiliency
21 planning, which is, again, you know, we are taking climate
22 change seriously in our campus-planning efforts. And so we
23 just started a resiliency-planning effort with a goal of
24 being to really incorporate climate adaptation into our
25 general planning on campus. So just the typical things

1 that you would think about with climate adaptation, like
2 emergency and hazard planning, but also some of our
3 business-continuity planning, which is just kind of like
4 business as usually and how these will be affected by
5 climate change. So, an example is that during the
6 wildfires that were happening in the fall, there was really
7 bad air quality around because of all the fires. And that
8 was impacting the way some athletic programs were going to
9 be held. And so we have to start thinking about how
10 climate change is going to be affecting our normal business
11 operations. And so the university is taking seriously
12 those efforts and taking that into account for their
13 planning for the future.

14 So, we held an initial workshop, and that was just
15 earlier this month. And it involved stakeholders from HSU,
16 from the city of Arcata, and also from the Redwood Coast
17 Energy Authority. And it was, you know, pointing out what
18 our strength and our assets and our vulnerabilities are.
19 And I'll just mention that one of the strengths that was
20 kind of repeated in that was just our local, engaged,
21 connected community and the partnerships (unintelligible)
22 them. So that's a theme that, you know, we didn't discuss
23 it together, but it just turns out that that was something
24 that we've all kind of recognized as a really important
25 part of our local community.

1 So, our next steps, we're going to be holding more
2 workshops to include more students and other community
3 stakeholders to just kind of get this ball going and plan
4 more for that.

5 So, I have a very brief presentation but I'll just
6 end with this really photo montage of all of our students.
7 I was picking pictures for this, and it was really hard
8 because we have so many awesome students. And I'll just
9 reiterate again that our students are our biggest strength.

10 (Applause.)

11 COMMISSIONER DOUGLAS: Well, thank you, Andrea.
12 And I was going to ask you a question. You know, the issue
13 you raised that facilities budgets are going down and
14 there's deferred maintenance and yet when you do a project
15 that effectively saves energy, those savings go to somebody
16 else's budget. That's a problem that we've seen replicated
17 in many places, including the state. And, actually, one of
18 the programs I put my shoulder behind years ago when we had
19 some ARRA money, American Recovery and Reinvestment Act
20 money, was to create a modest revolving fund within the
21 Department of General Services where they could provide,
22 essentially, loans to agencies to do projects that would
23 reduce energy bills and actually get repaid from the energy
24 savings so that they could continue kind of working on
25 these projects and the departments would eventually, you

1 know, realize the benefits of those savings in the proper
2 part of their budgets, or at least to their proper
3 departments.

4 But, has that been something that the university
5 or the CSU system, you know the university system more
6 generally, has tried to address? Because that is pretty
7 fundamental. It is much harder to sell a project like
8 this.

9 MS. ALSTONE: It is. And we have talked about
10 doing some revolving fund things on campus. It's more sort
11 of a sustainable like green fund revolving fund, and so
12 that kind of limits the kinds of projects that you can do
13 with that.

14 On-bill financing from PG&E is another opportunity
15 that we have for kind of funding projects out of that
16 energy pot of money where the -- you know, you take
17 zero-interest loans from PG&E and you repay them on your
18 bill-- so that way it's not coming out of our capital
19 budget. And so that's another opportunity to do some of
20 those switchings.

21 But it would be nice if there were easier
22 mechanisms for being able to realize those savings back to
23 us in facilities.

24 COMMISSIONER DOUGLAS: Yes, absolutely.

25 Do you have any other questions? Let's see.

1 COMMISSIONER HOCHSCHILD: I'm just curious, you
2 know, one of the big successes I would say for the state in
3 terms of energy efficiency over the last years has been the
4 PACE program. It's something in the order of, you know,
5 a-billion-and-a-half or \$2 billion in PACE -- the project
6 (unintelligible). How much of that has happened in this
7 area?

8 COMMISSIONER DOUGLAS: Give that over to Dana.

9 MR. BOUDREAU: RCEA has been working on PACE for
10 about four years now. We -- initially there was a lot of
11 excitement about it. I think one of the challenges is just
12 the low-income nature of our community. We had two levels
13 of involvement. And we really wanted to see people
14 participate in the higher cost, more comprehensive project
15 because that's where you really get into the energy
16 savings, and most people defaulted toward the lower end.

17 Now we're still getting pretty good engagement,
18 but our residential programs are really challenged because
19 of the age of the building stock, the additional activities
20 that you have to do to prepare the facility to be properly
21 retrofitted for energy efficiency, so if you have to do a
22 roof replacement, cladding and so on, it really drives up
23 your cost. So, if you're looking at a \$50,000 project,
24 it's a daunting task for a resident to think about taking
25 on that level of financial burden.

1 COMMISSIONER HOCHSCHILD: The other question I had
2 was just, you know, almost 20 percent of our electricity in
3 the state gets used for moving water, wastewater. And, you
4 know, just my observation about what's happened with our
5 weather and our climate here. You know, this -- it's going
6 to be feast or famine, I think. And we had 200 percent
7 annual rainfall last year followed by another drought and
8 the worst forest fires in the history of the state.

9 And just looking at water conservation, I'm just
10 curious if there's any update on what's been happening on
11 that side of things.

12 MR. ZOELLICK: I know there has been some efforts.
13 I think actually that the state, if I remember correctly,
14 gave a little bit of a reprieve for our region. Actually,
15 one interesting challenge that we face, so our water
16 district, Humboldt Bay Municipal Water District, provides
17 water for a large part of the region, not all of the
18 region, but the area around Humboldt Bay.

19 The water comes from rainy wells in the Mad River.
20 And there used to be pulp mills on the peninsula of the
21 bay, two large pulp mills, that consumed -- I don't
22 remember how many millions of gallons of water per day, but
23 it was a tremendous amount of water. And it wasn't
24 treated, but it largely subsidized the cost of water for
25 the rest of us. It also gave us the water rights to that

1 water. In California, if you don't use it, you lose it in
2 terms of water rights.

3 And so what's happened is those pulp mills have
4 shut down. And the water district is looking at possibly
5 losing those water rights. And they've been -- they've
6 gone through a strategic planning process over the last
7 number of years trying to identify how can we use that
8 water, actually looking at bringing, you know, breweries or
9 soda -- you know, whatever -- bringing the industry here to
10 use water. And what they've found was there's really no
11 industry that uses water at the level that these pulp mills
12 did.

13 They've also explored the possibility of being
14 able to keep water in the rivers, because that's an
15 important thing, you know, for fisheries and so forth, and
16 whether that could be a sort of, you know, a use that would
17 allow us to maintain those water rights.

18 But that does add a challenge in terms of water
19 conservation where there's this sort of perverse incentive
20 that if we conserve water we might actually lose those
21 water rights.

22 That said, I think there has been some water
23 conservation effort. But we are a weather region of the
24 state, so I think that there's less focus on that here.

25 COMMISSIONER DOUGLAS: So, I'll ask a question,

1 and I'll also ask -- oh, did you want -- go ahead.

2 MR. BOUDREAU: Just to elaborate, there's an
3 opportunity -- I don't believe right now there's an
4 accredited association for pump testing services. So, we
5 tried ten years ago to get somebody accredited and there's
6 no testing institution to send them.

7 So, if we had an opportunity at the state level to
8 support that, I think that would help. Again, there's an
9 economies of scale. You usually have to get about ten
10 horsepower on a pump itself before it can pay for the
11 engineering exercise to figure out how to make it more
12 efficient.

13 COMMISSIONER DOUGLAS: Good -- okay. Hang you.
14 Okay. Go ahead.

15 MR. CARMAN: And if I can make just a quick
16 comment that --

17 COMMISSIONER DOUGLAS: Go ahead and
18 introduce -- identify yourself, please.

19 MR. CARMAN: Jerome Carman with the Schatz Center.
20 Just really quick also that in terms of the energy
21 intensity of moving water, there's a significant difference
22 between Southern California and Northern California, almost
23 an order of magnitude. So, we have -- it's less of an
24 issue up here.

25 COMMISSIONER DOUGLAS: Great. So just for sound,

1 if we could -- can hold the microphone close. And I think
2 they're getting the volume up as high as they can without
3 getting interference. So, we'll make sure everyone can
4 hear.

5 I was going to ask, you know, we're in obviously a
6 very heavily forested region and there have been references
7 to bio mass, and yet we all know that biomass has been
8 really challenging. We've got kind of older plants and
9 some of them are at the end of their lifespan and having
10 various sorts of challenges. There has been some
11 investment. And the Energy Commission has funded some
12 investment in smaller scale biomass and opportunities like
13 that. And I wondered if Schatz or RCEA or anyone else
14 wanted to speak to where that is in your view.

15 MR. CARTER: Dave Carter with Schatz Center. So,
16 we've been doing biomass research for the last -- oh, it's
17 been five years or so, most recently with a large project
18 that -- it was funded by the Department of Energy that was
19 looking at how to utilize forest residuals that are
20 generated from timber practices. These residuals, we have
21 a high abundance of them in our forest locally. And they
22 cause fire hazards, and there's a need to be able to
23 utilize those for beneficial purposes. But they don't pay
24 their way out of the wood, so that's been a real struggle
25 for us here.

1 And so we've looked at some biomass conversion
2 technologies to try to increase the value of those
3 residuals by either densifying them into briquette that can
4 be co-fired with cord wood or in like an industrial
5 broiler, like a school for example. And then biochar,
6 that's something we've looked at extensively, which has a
7 lot of climate change mitigation benefits.

8 And then we've looked at torrefaction, which
9 is -- it's a way to condition the biomass to make it burn
10 cleaner. And in the end, if you're going to, for example,
11 use it in a power plant, which one way that torrefaction is
12 viewed as a strategy to utilize biomass residual.

13 So, we've also looked at gasification through
14 working with some machines that are built by All Power Labs
15 in Berkeley, California. We have some active projects with
16 them, better CEC funded, where we're doing the measurement
17 verification piece to sort of help verify that their
18 performance goals are being met for those grants.

19 And so -- and of course Redwood Coast Energy
20 Authority is paying premium for some biomass power here
21 locally because it benefits the community from a jobs'
22 perspective. And forest residuals fuels reduction wild
23 fire mitigation perspectives.

24 So, we're doing a lot; however, the margins are
25 very, very thin on biomass utilization. And that's

1 typically what we bump up against.

2 COMMISSIONER DOUGLAS: Okay. So, I'm just
3 curious, is this microphone easier to hear than the other
4 one?

5 (Collective answers.)

6 COMMISSIONER DOUGLAS: Why don't we trade?

7 UNIDENTIFIED SPEAKER: Can't hear the other one at
8 all.

9 MR. ZOELLICK: The microphone is off.

10 UNIDENTIFIED SPEAKER: Yeah.

11 UNIDENTIFIED SPEAKER: This work just fine.

12 MR. ZOELLICK: The on-off button.

13 MS. RAITT: Being engineers we're overqualified.

14 UNIDENTIFIED SPEAKER: We're overqualified.

15 MR. ZOELLICK: But thank you for -- see, I said we
16 need support from the California Energy Commission.
17 (Unintelligible) expertise right there.

18 (Laughter.)

19 MR. ZOELLICK: Commissioner Douglas, I would just
20 add a few more comments about that. So -- and Dave
21 mentioned there at the end that our you know, traditional
22 ranking cycle biomass power plants, there are three.
23 There's one that's running now, and there's one that's
24 about to come back online.

25 All three of those would be shut down at this time

1 if not for the Redwood Coast Energy Authority and the
2 Community Choice Aggregation Program, because the price of
3 that power at this point is so expensive, that it would not
4 be part of PG&E's portfolio, it couldn't be, in terms of
5 the CPUC, the regulatory environment. However, the local
6 community sees the value in those biomass power plants
7 continuing to operate for local jobs and for supporting
8 what's left of our local timber industry.

9 And so we could be paying lower prices for power
10 from our CCA, but the community has chosen to pay a little
11 bit more -- we're still paying a little less than we would
12 be paying PG&E, so the RCEA has been able to accomplish
13 that -- but we're paying a little bit more to maintain
14 those -- to keep those power plants going.

15 So, I think that's a huge benefit of the Community
16 Choice Aggregation Program and shows that a local community
17 can take in their own needs and goals and vision and act on
18 that.

19 The other thing I just would add is that in terms
20 of gasification, we -- there was one CEC-funded project out
21 at the Blue Lake Rancheria. It's not one that we tend to a
22 highlight a lot, because it wasn't a great success. There
23 were certainly some important lessons learned. But the
24 fast fire we tried to deploy there didn't meet up to the
25 specifications and what the vendor had committed to.

1 I say that also, though, there are a number of
2 those SB 1122 projects that have been funded throughout the
3 state that we're really watching closely. There's a number
4 of other gas-fired technology, sort of small,
5 community-scale gasifiers. There's the one from Cordis.
6 There's the -- anyway, there's a couple of other once.
7 There's North Fork project, there's the west Biofuels
8 project.

9 So, I have a real strong interest in seeing how
10 those projects play out. And I know there's small boiler
11 project as well or (unintelligible) ranking cycles system.
12 So, I think it will be very interesting to see how those
13 projects turn out and, you know, build hopefully on
14 successes from those projects.

15 COMMISSIONER DOUGLAS: Great. Great, thank you.

16 And, obviously, I'm trying to track the success of
17 the small -- or community-scale gasifier-type approach as
18 well, because it does seem like if we could get it to work
19 the way we would like it to work, it could be -- at least
20 play an important role in a niche in rural and forested
21 areas like this one.

22 I was going to ask Peggy, I sort of teed up a
23 question to you before community partnerships and to what
24 extent or how that has worked for you in the
25 electrification project. I know you spoke a bit about it,

1 but I wondered if you had anything more you wanted to add.

2 MS. O'NEILL: Well, we kind of operate sometimes
3 behind the bamboo curtain on the reservation where I think
4 we try to accomplish a lot more without those partnerships.
5 And I can't emphasize that when you work for a tribe,
6 there's so many competing needs. It's not like you're just
7 working on energy. So, times you get -- you know, you fall
8 down.

9 But we have had the military. We've had RUS.
10 We've had Schatz. PG&E was a little slower to coming
11 around, but I think we got them in the last few years to
12 see our needs and to be a strong partner.

13 We haven't reached out yet, and we've been wanting
14 to reach out to you, and I think we'll follow-up with that
15 to see how we might be able to benefit.

16 We also looked at biomass. And early on I
17 attended a bio mass conference, it was put on by the Forest
18 Service. And they brought in all of the biomass geeks, and
19 there's a lot of them out there that are just in love with
20 this industry.

21 And what we found at that time -- because, you
22 know, like you said, it's not cost effective, unless there
23 are maybe other collateral kind of businesses that you
24 can -- you know, for a tribe -- can create. Because we
25 have a rural area where we're also looking for industry

1 that doesn't -- you know, we're not into big factors
2 necessarily. But looking at what other businesses, whether
3 it's a nursery or -- that avoided cost -- energy costs that
4 you might have if you're providing it.

5 And that's -- I remember meeting a gentleman who
6 was from Vermont. And he said in Vermont, basically, a bio
7 mass is two guys in a pickup and they're like, you know,
8 fueling a school. But that \$30,000 that they save for
9 that, you know, school, goes to help pay a teacher.

10 So that level I think is something that we could
11 look at, whether it's in creating soils or nursery and
12 doing biomass to provide power for the local needs of the
13 community. That makes more sense. That's maybe the model
14 we should be looking at.

15 And at that time China and Sweden and places like
16 that were doing, you know, a lot of things, that we weren't
17 yet. And I remember there was also a junior college that
18 was -- Shasta I believe -- that was biomass fueled. I
19 don't know if they still are.

20 But I think maybe having that kind of conference
21 and bringing those people out of the wood work again would
22 be a good collaboration.

23 COMMISSIONER DOUGLAS: All right. Well, thank you
24 very much.

25 And I think what we're going to do now is go

1 straight into our next panel. Let's give this panel a
2 round of applause.

3 (Applause.)

4 MR. ZOELLICK: So just so people -- I turned it
5 off. So, whoever comes next needs to turn it on.

6 (Whereupon, there was a pause in the proceedings
7 to reset for the next panel.)

8 (Whereupon, off the record at 10:32 a.m.)

9 (Whereupon, on the record at 10:33 a.m.)

10 COMMISSIONER DOUGLAS: All right. Very good.
11 This next panel is focused on microgrids because of the
12 particular leadership and innovation we've seen in the
13 microgrid space up here on the North Coast.

14 So, our first panelist is Jana Ganion with the
15 Blue Lake Rancheria.

16 Please turn your mic on.

17 MS. GANION: I'm trying. All right. Does that
18 work?

19 UNIDENTIFIED SPEAKER: You should have a green
20 light.

21 MS. GANION: It has a faint green light. Can
22 everybody hear me?

23 UNIDENTIFIED SPEAKER: Yes. Yeah, that's good.

24 MS. GANION: May I ask you to forward the slides
25 for me. Thank you.

1 MS. GANION: So, I will sit, even though I'm
2 uncomfortable doing so, just so I can control this
3 microphone a little bit better.

4 But my name is Jana Ganion, and I'm the
5 Sustainability and Government Affairs Director for the Blue
6 Lake Rancheria Tribal Government.

7 I want to thank the California Energy Commission
8 for inviting us all here today. It's great to be able to
9 talk about these issues in the context of overall energy
10 review.

11 Next slide, please.

12 So, first, for those of you who aren't familiar
13 with the Blue Lake Rancheria Tribe and Tribal Government,
14 it was formed as a tribe in 1908 as a refuge for homeless
15 Indians.

16 Today, we have about 100 acres of trust land
17 spanning the Mad River. We have several economic
18 enterprises, including a casino, hotel, and event center,
19 which I'll get to in a minute.

20 We have over 400 employees across government and
21 economic enterprise operations. And so we're usually in
22 the top ten employers in Humboldt County.

23 We have about 15 governmental departments, travel
24 utility, some emergency services, and many other programs
25 that the tribe supports and deploys on a routine basis.

1 I want to talk a little bit about our outreach
2 efforts. We spend a significant amount of time -- and I'll
3 add to the partnership theme of today -- we spend a
4 significant amount of time conducting outreach to our
5 federal, state, and local partners.

6 So, I have the honor to serve at the federal level
7 on the Department of Energy's National Tribal Working Group
8 where I work with tribes across the country on energy
9 developments.

10 We always are excited to talk about the California
11 policies and programs that we're able to participate in.
12 And, obviously, we get a lot of envious looks and comments
13 from tribes across the country and other states that maybe
14 aren't as progressive.

15 We sit on the BOEM California Task Force. And we
16 have participated in a number of federal climate action
17 initiatives primarily under the prior administration. And
18 one of those examples is the Climate Resilience Toolkit.

19 On the state level, I serve on the, what's called
20 the ICARP, which is the Integrated Climate Adaptation
21 Resilience Program - Technical Advisory Committee. I also
22 serve on the AB 617 consultation group, which is an effort
23 to look at air pollution as it's cross-referenced with
24 energy and disadvantaged communities.

25 We were featured, the tribe was featured as a case

1 study in nd Safeguarding California and I'm involved in the
2 Fourth Climate Assessment for California.

3 Locally, we have served on lots of planning
4 committees, like the Regional Long-Term Water Resource
5 Planning. And that has been really incredible effort to
6 underwater pursuant to some of the comments that were made
7 earlier.

8 And then there's a little bit about our
9 recognition there.

10 But, today, what I really want to talk about is
11 one of our recent projects, which is the microgrid.

12 Next slide, please.

13 And it is low carbon, community scale. But I want
14 to first just briefly mention that the reason that the
15 tribe does these things is because we have a defined energy
16 strategy and plan. So, our goals are to lower and
17 stabilize costs to repair the environment and reduce GHG
18 emissions. I want to create energy resources that are
19 resilient, because they, in turn, support our lifeline
20 sectors, like, water, food, communications, IT, and
21 transportation.

22 We, also very well energy projects because they
23 support our continuity of operations across tribal
24 government and across our economic enterprises.

25 We think that energy development within California

1 within a rich and aggressive climate context creates
2 innovation, and by pairing mitigation with adaptation, we
3 can create what has been referred to nationally and in
4 California, a "Climate Resilience Marketplace." And that
5 brings the kinds of projects and jobs and other
6 opportunities that we've heard about. The off-shore wind
7 is a great example of that.

8 This nexus of goals and developments really does
9 spur innovation. And, of course, the tribe's overall goal
10 matches California, and hopefully we'll exceed that, too,
11 to exceed zero emissions by 2030.

12 Next slide, please.

13 So, we've heard a lot about our area, but I just
14 want to point out that when I travel nationally and I talk
15 about California and our energy sector, I point out that we
16 really are in Northern California as opposed to being in
17 Sacramento and that we have limited conductivity to a
18 larger region.

19 Next slide, please.

20 So, our microgrid really is at the core of our
21 resilience right now. We're expanding from that; but,
22 right now, it's at the core.

23 So, a little -- a couple of details for those of
24 you who aren't familiar with it. We purchased -- we're at
25 the end of the line. So, we're at the end of the PG&E

1 distribution and transmission line at Blue Lake Rancheria.
2 So, we purchased a portion of that infrastructure from
3 PG&E. We developed a point of common connection with PG&E
4 that's upstream of about a six-building campus of critical
5 infrastructure.

6 For generation, we put in a new solar array.
7 You've seen it in some of the pictures, and I've got a few
8 more pictures in this presentation. It's just under a half
9 a megawatt, so it's 420 kilowatts AC. We've got about 1
10 megawatt of battery storage right now, and we're expanding
11 that this year to double that size.

12 We do have -- we primarily use in
13 business-as-usually situations and even in emergency
14 situations the solar and battery storage for our
15 generation.

16 But we do have some preexisting diesel gen sets.
17 We don't like them but in the short-term, they were
18 important for microgrid stability and internal redundancy.

19 With the microgrid we can cost effectively de-
20 prioritize those diesel generators over time, and we can
21 regulate them, as we already have in practice, to deep,
22 deep backup.

23 However, lots of people, especially on the North
24 Coast, have diesel generators. And so a microgrid allows
25 us to implement cleaner and lower carbon sources of energy

1 while we de-prioritize these other sources of energy that
2 aren't so clean. And so that's one of the benefits of the
3 microgrid.

4 Next slide, please. So, this is a bird's eye view
5 of the way it's laid out at the Blue Lake Rancheria. The
6 point of common connection is there on the lower right.
7 You can see our government offices, our casino and
8 restaurants, hotel. The PV array, it's to the back, and
9 the battery is right next to it.

10 Next slide, please.

11 You've heard a lot about partnerships today. We
12 want to reiterate that and talk about the partnerships that
13 were specifically necessary for our microgrid.

14 First of all, the California Energy Commission was
15 a primary funder through the EPIC program. And, again, as
16 I travel nationally and I talk about these program, I talk
17 about the EPIC program as a keystone R&D pilot project and
18 deployment effort in California that has resulted in so
19 many incredible areas of progress.

20 The top of that org chart there is the Schatz
21 Energy Research Center. Really, I sit next to two of the
22 heroes of microgrids in our area. Schatz Energy Research
23 Center is one. They acted as our primary contractor, our
24 engineering manager, our technology integrator, which is so
25 incredibly important for microgrids. But it just wouldn't

1 have been possible without their expertise and their
2 project management.

3 In addition, I want to just thank PG&E. When we
4 started the microgrid project back in 2015, microgrids were
5 really firmly outside anyone's core business model,
6 including our own. And PG&E really stepped up to the
7 plate. They provided incredible support at the application
8 phase for that EPIC funding, but all the way through the
9 project, they provided technical assistance. At one point,
10 helping us value engineer our project to save over \$400,000
11 in costs, that at that point in time might have been a deal
12 breaker.

13 Thank you.

14 UNIDENTIFIED SPEAKER: Uh-huh.

15 MS. GANION: Our project partners here I think are
16 indicative of what Dana was saying that, you know, really
17 in this area we work hard to form public, private,
18 academic, governmental partnerships. And you can see an
19 array of expert local providers, like Robert Colburn
20 Electric, Kernan Construction, and then Fortune 50
21 companies like Siemens and Tesla.

22 We've just had the good fortune to be able to work
23 with all of these on this project.

24 Next slide, please.

25 So, when we talk about the need for resilience on

1 the North Coast, as you've heard and as you'll hear more,
2 we really mean it. This is a photo of a 25-acre wildfire
3 that sprang up right across the street from us last
4 October. And, of course, all of us here are experiencing
5 all of those wonderful items on that list.

6 We did have an outage during this wildfire, and
7 our microgrid performed beautifully. In fact, so much so,
8 that we didn't even know that we had islanded from the main
9 grid until it was mentioned by California Energy Commission
10 Chair Weisenmiller in a meeting. And we heard about it
11 through word of mouth and investigated, and, sure enough,
12 we had sailed through this event so beautifully that we
13 didn't even notice it.

14 Next slide, please.

15 This is just one shot of one of the landslides
16 that occurred last year. This was south of us on the 101.
17 That impacted, I think, some members of the California
18 Energy Commission coming up here for a prayer event.

19 Next slide, please.

20 One of the things that I just really want to
21 highlight is that we are within one of the most dangerous
22 and actively seismic zones in the world. The Cascadia
23 Subduction Zone, Mendocino Fault, Gorda Plate, Pacific
24 Plate, and North American Plate all converge at the triple
25 junction directly offshore from the city of Eureka, about

1 20 miles from the tribes' lands.

2 Large earthquakes and/or tsunamis are a constant
3 threat here. Cascadia Subduction Zone earthquake
4 predictions are dire. And since 1900, as this graphic
5 shows from Humboldt State University, nearly 40 earthquakes
6 of magnitude six or larger have occurred in California
7 north of Santa Rosa and in the adjacent off-shore areas.
8 So, you know, that's a big earthquake about every few years
9 or so. In fact, just a couple of weeks ago when we were
10 having an economic development forum south of here in
11 Fortuna, an earthquake rolled through as we were having the
12 meeting. So, you know, it does tend to focus our attention
13 a little bit on what we need to do here.

14 Next slide.

15 So, we've seen this. I won't go into detail on
16 the tenuousness of connections, except to say that in 2017
17 that land slide that you saw in the photo earlier, our Play
18 Station 777, the tribe's small fuel station and convenience
19 store, diesel shipments were reduced by 60 percent for over
20 a week due to those simultaneous landslides. And keep in
21 mind that diesel constrictions not only impact fuel
22 stations and sort of the retail availability of diesel, but
23 it also impacts the ability of our diesel generators to
24 create back-up power. So, diesel generators up here aren't
25 quite as robust as -- we can't think of them as robust as

1 other people really do that don't have as much of a threat
2 of diesel constrictions.

3 Diesel here is also very expensive. Typically, we
4 are the most expensive in terms of diesel prices in the
5 United States.

6 Next slide, please.

7 Now, I'm going to talk a little bit about the need
8 for decarbonization because I know it's a State of
9 California priority, maybe a top priority. I think it
10 needs to be a top priority for all of us. And I'll say
11 that to all of the climate change impacts we are suffering
12 on the North Coast, climate change adds multipliers and
13 feedback loops in really interesting -- I mean, somewhat
14 morbidly interesting -- but interesting ways.

15 Sea-level rise is one that I'd like to just
16 highlight because we have a lot of infrastructure on the
17 North Coast, including Highway 101, our wastewater
18 treatment plant in the city of Arcata, our power plant, our
19 main power plant as was said earlier, that are in the
20 direct path of even a modest sea-level rise here.

21 And then, of course, it's critical to decarbonize
22 because of public health -- I'm going to go into detail on
23 that on one subject in a second -- economic and, of course,
24 ecosystems.

25 Next slide, please.

1 Now, this is just the way I think, and I had to
2 throw this in here because I thought it was fascinating.
3 So, sea-level rise, the Greenland Ice Sheet holds 22 feet
4 of sea-level rise within it. Many of you probably already
5 know this. But there was just a recent news article in
6 Science that highlighted -- this has been known about for
7 150 years, by the way -- but it highlighted a feedback loop
8 specific to the Greenland Ice Sheet, but probably not
9 solely confined to the Greenland Ice Sheet, that there are
10 these -- and I don't know how to pronounce this
11 word -- cryoconite cones, with little colonies of black
12 algae in the bottom that attracts for sunlight to sort of
13 keep this feedback loop going and is having an overall
14 effect of melting that ice sheet a lot faster when it's
15 combined with the overall temperature increase of climate
16 change.

17 So, we've got some feedback loops we have to pay
18 attention to, and they're not just here, they're across the
19 globe.

20 Next slide, please.

21 Here, however, I want to point out that Humboldt
22 County currently exceeds air quality standards. We are in
23 non-attainment for PM10. The Mad River is a listed
24 impaired waterway under the Clean Water Act Section 303(d)
25 for temperature and sediment. So, the impacts of this are

1 that we do have -- even though it looks beautiful
2 outside -- we do have some air impacts that we have to pay
3 attention to. And we are seeing annual impacts in our
4 waterways, an example of which is the cyanobacteria toxic
5 blue green algae that was a relatively rare event prior to
6 about five or six years ago and now happens every year.

7 Next slide, please.

8 So, our microgrid allows us to -- because we have
9 created an energy anchor of solar-plus storage, it really
10 has allowed us to replace these air-polluting sources of
11 energy. And that's important because most of the major
12 climate health impact studies have air pollution as an apex
13 issue. This is not just something that is something that
14 we should put up with, this is something that we need to
15 tackle head on.

16 It is critical to reduce especially the fine
17 particulate matter, PM 2.5 for climate and health benefits.
18 So, there is a study and I encourage all of you not to take
19 my word for it, please go out. You will not like what you
20 read, but it's important that we all become educated on it.
21 And search for PM 2.5 health impacts on Google and see what
22 pops up by in the scientific literature and in the general
23 news.

24 And I will say that solar power in our microgrid
25 replaces this type of energy in our mix and it helps

1 replace it in our regional mix, which we feel good about.

2 I want to take this opportunity to follow-up on a
3 question you asked about biomass energy. So, we have
4 looked carefully at biomass energy because the Mad River
5 Valley is a hotspot for the impacts of biomass air
6 pollution. Without going into any more detail on that,
7 I'll say I've looked carefully at this and I continue to
8 look carefully at it, and as Dave Carter mentioned,
9 Humboldt State University is doing research not only on the
10 ways in which we could use biomass for useful commercial
11 products outside of energy, but also the carbon lifecycle,
12 the actual carbon lifecycle of biomass power, which is by
13 no means proven to be at all beneficial.

14 So, the cost is high. The Co2 lifecycle is
15 not -- it's not -- it's very complicated and it's not at
16 all clear whether or not its status as a renewable power
17 supply should be questioned.

18 But, at the end day of the day, biomass energy
19 industry needs to understand that that particulate matter,
20 PM 2.5 and PM10 are something that is creating a serious,
21 significant and sometimes fatal health issue. And so they
22 need to understand that if they're going to operate these
23 plants, they need to invest in technologies that are going
24 to reduce, and ideally eliminate, those types of emissions.

25 The good news is there's technology out there that

1 can do that. I guess the questionable news is that they
2 do, of course, cost money and require investment.

3 Next slide, please.

4 So, a little bit more about how our microgrid
5 equals resilience. It powers our critical infrastructure.
6 The Blue Lake Rancheria tribe is also an American Red Cross
7 shelter-in-place. As I said, it improves our lifeline
8 sectors and it improves our economic control. So, we think
9 of energy development as economy enabling infrastructure
10 investments. And that's why the tribe has chosen and
11 prioritized these investments over other things that it
12 could be doing. And we have achieved some significant
13 savings. It's between about \$175- and \$200,000 a year.

14 Next slide, please.

15 So, the other reason we do this is because it
16 strengthens the wider grid. So, our solar-plus system and
17 our ability to increase our demand response and remove some
18 of the demand from the grid, hopefully in perpetuity
19 counters the volatility. It flattens what I think most
20 people are familiar with, if flattens the duck curve caused
21 by solar generation in the middle of the day, and our
22 system has gone through a cybersecurity review. Actually,
23 we worked with the National Renewable Energy Laboratory on
24 that. And, so, we are hoping that these
25 microgrids -- ours, we believe, is pretty cyber secure, --

1 but we're hoping that the advent of microgrids in general
2 improves cybersecurity by not having all of our digital
3 energy eggs in one basket.

4 Solar-plus storage, as I've mentioned several
5 times, is working here on the North Coast. It's fully
6 mature. It's cost effective. It has manageable operations
7 and maintenance. So, that part of it has been pleasant.

8 We have, of course, 365 days of perpetual fuel
9 onsite. We don't have to truck anything in. And, of
10 course, my personal favorite, there's no emissions.

11 We have used the savings -- to talk about
12 something Andrea mentioned -- we have used a portion of the
13 savings from our energy efforts to create new jobs. And we
14 have increased travel employment in our energy sector on
15 the government side by ten percent, which is a grandized
16 way of saying we've created four new full-time jobs, but
17 ten percent sounds better, so we're going to go with that.

18 And it augments regional resources. PG&E
19 hopefully knows that if there's an extended outage, BLR
20 will be just fine and they can take care of other things
21 elsewhere and get to us when they can.

22 Next slide, please.

23 So, we are going to reduce our Co2 by between 175
24 and 200 tons per year. So, that makes us feel very proud.
25 We like the microgrid for the fact that it is a smaller

1 project and it enables rapid wide-spread deployment of
2 solar or wind or other renewables at the community and
3 facilities scales.

4 And I'll just point out that at the most
5 conservative analysis -- and this is from the
6 Atlantic -- the solar industry broke even on all of its GHG
7 emissions in 2018. The most favorable analysis is that the
8 solar industry broke even on those in about 1987. So,
9 regardless, every single solar panel is contributing to
10 reversing the cause of climate change as we speak, and we
11 feel great about that.

12 Microgrids make green investments more feasible.
13 To sort of build on what Peggy was saying about the, you
14 know, it's always a puzzle to pull together funding for
15 those projects. But we're hoping that microgrids take
16 these projects down to a scale where people can leverage
17 their own -- maybe smaller governments can leverage their
18 own smaller infrastructure investment buckets with other
19 investments to make overall grid improvement more feasible
20 for everybody.

21 Next slide, please.

22 So just quickly, replication is important. At the
23 Blue Lake Rancheria, we know even if we zero out our
24 greenhouse gas emissions that it's not really going to
25 matter in terms of global climate change. We have to build

1 things that have the opportunity for replication and rapid
2 replication. We have to move quickly on these things. So,
3 we're expanding our microgrid, as I said, by adding battery
4 storage this year. That's through the Self-Generation
5 Incentive Program in California, which, again, I talk about
6 nationally and which, again, people are envious of.

7 We are building a new microgrid at our gas station
8 and convenience store with the hopes that we create a
9 resilient package. Often times those gas station and
10 convenience stores, especially when they're in rural areas
11 in California, are critical infrastructure. They do need
12 this kind of emergency power package to make sure that they
13 are able to operate in times of emergency and more cost
14 effectively in business as usual.

15 We are adding electric vehicles and charging. We
16 are looking very carefully at electric vehicle buses for
17 our public transit system that the tribe sponsors. We are
18 developing a smart water grid that will be tied into the
19 microgrid to make sure that we have at least emergency
20 stand-by power for our American Red Cross emergency
21 shelter. And then we're also looking at expanding that
22 smart water grid community-wide.

23 And then I'll just say that because these projects
24 have been in part funded by the California Energy
25 Commission, the Schatz Energy Research Center has really

1 taken the lead on this, but we do a lot of public reporting
2 outreach and knowledge transfer activities. We do a lot of
3 these things. We take them seriously. And we do that
4 because we want to make these follow-on projects more cost
5 effective and we want them to happen as quickly as
6 possible.

7 Next slide, please.

8 So, solar is -- this is a grainy picture of our
9 solar ray -- but solar is a rapidly increasing mix of the
10 Humboldt energy platform. We are similar in latitude to
11 Germany, which has an incredibly aggressive solar platform
12 and approach. So solar works just fine here, I can tell
13 you, and it's a wonderful form of energy and we just love
14 it.

15 So, I'll just end by saying that the State of
16 California, the California Energy Commission, and
17 governments like the Blue Lake Rancheria with expert
18 partners like PG&E, the Schatz Energy Research Center and
19 the Redwood Coast Energy Authority are firmly at the
20 forefront of resilience and reduced GHG strategies for all
21 the economic, health, environmental benefits that these
22 strategies have proven to create.

23 We do great workup here in Humboldt County. We do
24 it with our partners, especially at the California Energy
25 Commission, and we look forward to doing much more.

1 Thank you.

2 COMMISSIONER DOUGLAS: Thank you.

3 (Applause.)

4 COMMISSIONER DOUGLAS: Let's go on to Dave Carter.

5 MR. CARTER: Thank you.

6 Can you pass me (unintelligible)?

7 Make sure it's on this time.

8 All right. Okay. Good morning. My name is Dave
9 Carter, I'm a Managing Research Engineer at the Schatz
10 Energy Research Center at Humboldt State.

11 I'd like to thank the Energy Commission for
12 holding this workshop here in Arcata and --

13 UNIDENTIFIED SPEAKER: We can't hear you.

14 MR. CARTER: Okay.

15 UNIDENTIFIED SPEAKER: Is it on?

16 MR. CARTER: I would like to thank the Energy
17 Commission for hold thinking workshop --

18 Is that better?

19 UNIDENTIFIED SPEAKER: Not much.

20 MR. CARTER: Let me try that one. You know, this
21 one's got -- is that better?

22 UNIDENTIFIED SPEAKER: Yes.

23 MR. CARTER: Okay. Thank you.

24 Okay. How is that? Is that better?

25 UNIDENTIFIED SPEAKER: Yeah, much.

1 MR. CARTER: Okay. Great. Thanks.

2 Again, just like to thank the Commission for being
3 here and holding this workshop and thank everyone who
4 showed up today to participate and shape in our energy
5 future here locally and state-wide. I'm grateful to be
6 here with the opportunity to speak to folks about
7 implementing microgrids.

8 Jana, you want to pass me the clicker there and
9 I'll --

10 UNIDENTIFIED SPEAKER: Oh, sure.

11 MR. CARTER: Yeah. Thanks. I got it. There we
12 go.

13 So, my goal today is to provide the sense of what
14 it takes to implement microgrids, starting with our
15 experience implementing the Blue Lake Rancheria microgrid.
16 Then I'll explain the differences between that project and
17 the upcoming airport microgrid project, and then I'll
18 explain other plan to implement that airport microgrid
19 project and some of the biggest challenges that we face,
20 and I'll end with a summary of the benefits of that project
21 as far as the local and state-wide benefits.

22 Okay. So, Jana did a great job of providing
23 background on the Blue Lake Rancheria microgrid project and
24 why microgrids are important in general.

25 Implementing the Blue Lake Rancheria microgrid,

1 and really any microgrid at this point in time, requires
2 integrating a complex array of inner-connected technical
3 systems, because the electricity generated in the microgrid
4 has to continually match the electricity being consumed on
5 a scale of milliseconds. So complex controls are required
6 to accomplish this, then to manage the transitions to and
7 from islanded mode, which is the term used to describe when
8 the microgrid is operating independently of the larger
9 grid.

10 A diverse range of equipment, vendors, and
11 engineers provided the technological systems used at the
12 Blue Lake Rancheria microgrid, and intensive coordination
13 was required to make sure that each partner was supported
14 to meet their contractual obligations and also ensure that
15 their technology functioned so that the overall microgrid
16 could function as it was designed.

17 The time line for implementing the Blue Lake
18 Rancheria microgrid was very tight. We had just a little
19 over two and a half years to implement the entire project.
20 We had to complete construction of one season and we had to
21 navigate a complicated and uncommon inner-connection
22 process with Pacific Gas & Electric.

23 So, to meet our scheduled requirements, we used an
24 innovative design-build approach where our engineers and
25 contractors worked together to overcome significant

1 technical and logistical challenges. And, thankfully, we
2 had an amazing project team and we completed the project on
3 time. We had full microgrid functionality achieved at the
4 end of the project, and we didn't have any safety incidents
5 or incident of equipment damage.

6 I can't over-emphasize the importance of having a
7 supportive site host when implementing a microgrid. The
8 Blue Lake Rancheria took on significant risk with agreeing
9 to be the site host for this project. There were
10 significant financial risks associated with the grant
11 funding because you have to fix your project budget before
12 you have final design in place, which creates a lot of risk
13 for everyone. On the technical side, this was the first
14 deployment of the Siemens' Spectrum 7 Microgrid Controller
15 on a live microgrid, as well as the first deployment of a
16 multi-invertor Tesla battery energy storage system on a
17 live microgrid. So, what could go wrong, you're deploying
18 two brand new systems.

19 Thankfully, due to our amazing project team,
20 nothing went seriously wrong. We did have some hiccups
21 along the way, though.

22 So as far as how the airport microgrid is
23 different than the Blue Lake Rancheria microgrid, this
24 graphic shows some of the main differences. We're looking
25 at size differences, the generation mix is different,

1 customer type, asset connection type and ownership are
2 different.

3 For size, the airport microgrid is about five
4 times larger than the Blue Lake microgrid as far as the
5 generation and storage capacity. So, we're making a big
6 step up there.

7 For generation mix, the airport microgrid is
8 100 percent renewable, whereas the Blue Lake microgrid
9 incorporated a preexisting diesel generator to support the
10 loads during extended islanded periods, which was a great
11 use of that preexisting, very expensive asset.

12 For customer type, the Blue Lake microgrid
13 involved one utility customer, the Blue Lake Rancheria, and
14 they're fed through one utility meter.

15 For the airport microgrid, there will be 18
16 utility customers. And some of those customers will be
17 bundled PG&E customers, and at least one will be an
18 unbundled customer that receives their energy from RCEA and
19 their distribution services from PG&E.

20 For asset connection type and ownership, at the
21 Blue Lake Rancheria microgrid, the distribution and
22 generation and storage assets are all connected behind the
23 meter and they're all owned by Blue Lake. At the airport,
24 the main generation and storage assets for the microgrid
25 will be connected in front of the meter, and they'll be

1 owned by RCEA. So RCEA will use those assets for wholesale
2 power production for their customers throughout the county.
3 PG&E will retain ownership of the microgrid distribution
4 circuit, however.

5 So, when the airport microgrid is in islanded
6 mode, PG&E will end up having to buy power from RCEA to
7 supply their bundled customers within the microgrid. And
8 that hasn't been done before. So, we'll have to generate
9 new agreements and tariffs under the project to support
10 these types of transactions. And figuring out how that is
11 going to work is of keen interest to everyone, PG&E and
12 RCEA in particular, because with community choice
13 aggregation programs on the rise in California, the lessons
14 learned on this project for how to manage those
15 transactions are going to be applicable state-wide.

16 So, our plan to implement the airport microgrid
17 project, we are getting our funding from the California
18 Energy Commission scheduled for a vote here in June of this
19 year. At that point, we'll enter into a contracting phase
20 to get all of our subcontractors and vendors unloaded to
21 the project. And from there, we'll finalize procurement
22 details for major components, and launch into our final
23 engineering design effort.

24 In 2019, we'll continue designing procurement
25 activities and start developing those tariffs that we need

1 to develop. And we'll start the inner-connection process.
2 In 2019, we'll also complete construction of Phase I of the
3 project, which will consist of installing a net metered
4 solar electric array, to offset the energy cost of the
5 airport, as well as the installation of four demand
6 response capable electric vehicle chargers.

7 So, these Phase I components can be installed
8 independently of the rest of the microgrid. We're going to
9 get those deployed in 2019 while, in parallel, continuing
10 some of our design and testing efforts for the larger
11 generation system for the microgrid.

12 In early 2020, we'll continue tariff development
13 and inner-connection activities and start testing the
14 microgrid protection and control software and hardware in a
15 real-time simulation environment. And then we'll complete
16 Phase II of construction and commissioning in the summer of
17 2020 and the fall. And then our goal is to obtain
18 commission to operate from our friends at PG&E, who are
19 critical partners on this project, at the end of 2020.

20 And then in 2021, the microgrid will be fully
21 operational and we'll be collecting data in order to
22 quantify the benefits from the project and validate the
23 business case and replicability of this microgrid model.

24 We have many challenges ahead of us as we work to

1 implement this project. Here is a list of several of them
2 that we have identified. Undoubtedly there will be many
3 more that will pop up as we go along.

4 This graphic here on the slide shows in the red
5 there's -- we're sort of -- our project is at the
6 intersection of three trends that are emerging right now.
7 In the red we have increasing need for resiliency around
8 critical facilities due to climate change impacts. In the
9 green we have investor-owned utilities transitioning to the
10 sustainable smart grid of the future. And then in the blue
11 we have community choice energy programs that are
12 installing their own energy-generation and storage assets.
13 So when you combine all that, this is sort of our business
14 model for microgrid where we think that there is a lot of
15 potential to replicate this type of a project, and we're
16 seeking to demonstrate that.

17 Similar to the Blue Lake Rancheria microgrid, we
18 will face significant technical integration challenges on
19 the project, as well as contractual integration project
20 challenges with so many technologies and contractors on the
21 job. There is going to be significant electrical and
22 controls engineering challenges to address. I mentioned
23 previously that this will be the first multi-customer
24 microgrid on one of PG&E's distribution circuits where they
25 maintain ownership of the circuit and they operate it.

1 Additionally, PG&E will be able to control the microgrid
2 remotely from the distribution control center in the Bay
3 Area, which is also a first. So thankfully we have a great
4 engineering team that's lined up to face these technical
5 challenges.

6 I mentioned previously we have some new tariffs
7 that we have to develop and, in some ways, this work is
8 going to be a lot more complex than the technical
9 challenges we face. These regulatory challenges,
10 transactional challenges, are really I think going to open
11 up the -- if we can solve those challenges, it will really
12 open up the opportunities for this type of thing to be
13 replicated.

14 Cyber security for critical infrastructure is
15 always a significant challenge because of course hackers
16 never sleep, so we have to be ready for that challenge, and
17 we are. We have specialists on the team who are eager to
18 get to work on that.

19 Our interconnection pathway is going to be more
20 complex at this time because we have -- not only do we have
21 an interconnection agreement with Pacific Gas & Electric
22 but we're going to be doing a new resource implementation
23 process with the California Independent System Operator.
24 So that's the lengthy process we have to get going on right
25 away.

1 And then one of the unique and exciting
2 challenges we face in the realm of technology advancement
3 is that we're planning a couple of the two megawatts solar
4 electric array to the batteries, energy-storage system
5 batteries. And this type of configuring is called DC
6 coupling and it reduces the number of inverters needed so
7 the cost gets lowered. It provides more efficient solar
8 energy capture and buffers the distribution system from --
9 and the microgrid itself from - large power fluctuates
10 that happen on partly cloudy days with large solar arrays.
11 And this also enables RCEA to shift when they release solar
12 power from the site onto the grid, to be able to take care
13 of wholesale pricing and help address the duck curve.

14 So in terms of the benefits to the ratepayers
15 locally and statewide, there will be many. Pacific Gas &
16 Electric will gain valuable experience with multi-customer
17 microgrids, advanced distribution system controls, and
18 experimental tariffs. The project will demonstrate a
19 partnership model where we have an investor-owned utility
20 and a community-choice aggregator collaborating to
21 implement a microgrid. We think that the agreements and
22 tariffs that result from this project could be broadly
23 applicable and lead to replication of similar microgrids in
24 California and potentially beyond.

25 So we'll demonstrate how multi-customer

1 microgrids based on this partnership model can create
2 resiliency hubs around critical facilities, which we think
3 is one of the real niches for microgrids. Yeah, we hope to
4 demonstrate how microgrids with generation and storage
5 assets that are sized for wholesale market participation
6 can provide grid services, such as voltage support, solar
7 smoothing and shifting, and fast ramping to meet evening
8 peaks.

9 And we'll demonstrate technology advancements in
10 DC coupling of solar PV and battery-energy storage systems,
11 as well as integrated protection and control software for
12 cyber-secure microgrids.

13 And then we'll validate the business model that
14 you have seen and we'll do that by analyzing the
15 performance data from the system and reporting out to
16 stakeholders with valuable information that can be used to
17 replicate similar projects. And, on that note, I'll just
18 note that that our final report for the Blue Lake Rancheria
19 microgrid is just in final review and that will be coming
20 out soon. So there is going to be everything you ever
21 wanted to know about that project and more publicly
22 available soon.

23 That's all I have. Thank you.

24 (Applause.)

25 COMMISSIONER DOUGLAS: Great. Next we have Jon

1 Stallman, PG&E.

2 MR. STALLMAN: Thank you.

3 Fantastic tough acts to follow here and great
4 technical detail on both projects. I really appreciate
5 that. And myself and PG&E thank you for inviting us to
6 this session. It's really fantastic, innovative work, and
7 I thank the Humboldt community for inviting me down and to
8 join this panel. Thank you.

9 So I'm Jon Stallman. I'm in a group called the
10 Grid Innovation and Integration and Integrated Grid
11 Planning. And I just pulled up our mission, as: Design,
12 test, and integrate innovative solutions to accelerate
13 PG&E's transition to the sustainable grid of the future.

14 So what all that really means is that our group
15 is tasked with really trying to understand the distributed-
16 energy resource technology and marketplace and how that
17 fits into customer usage. And I think you have great
18 examples right here at the table of how those types of
19 efforts and, in particular for this session, microgrids.
20 We're also exploring things from block chain transactional
21 energy marketplace.

22 We're exploring deploying our EV electrification,
23 vehicle electrification and EV charging stations, our
24 storage interests in managing our grid, and all of these
25 elements come into play when we start to look at the

1 microgrid space. So I'm deeply interested in these
2 developments.

3 So I'd like to just touch on a little bit of the
4 foundations. I want to try to build off from the two
5 previous presentations . And so if you could go to the
6 next slide, please.

7 Let's just touch on some foundations and policy
8 drivers of this. And I hadn't heard this mentioned yet, so
9 let's just take a look at the DOE definition. And a couple
10 of highlights out of this definition is interconnected
11 loads. I think we all understand that distributed energy
12 resources and, as we gain a higher density of distributed
13 energy resources within an area, it definitely facilitates
14 us leveraging microgrids and, in particular, leveraging the
15 distribution system to enable microgrids on a broader
16 scale.

17 So clearly defined electrical boundaries. And in
18 BLR's case clearly defined electrical boundaries is
19 everything behind the meter in that behind-the-meter
20 example. And it still uses a distribution grid to feed a
21 number of different buildings. However, there is a very
22 defined electrical boundary, or what I like to call a
23 controlled area.

24 So then the ability for a microgrid to connect to
25 the grid and disconnect to the grid is a very key point

1 because that creates the sustainable operation of that
2 microgrid. Microgrids typically have a duration that they
3 can stay autonomous. And that duration depends on the
4 distributed energy resources that are behind those
5 controllable boundaries. And depending on how much you
6 install within that controllable boundary, allows for that
7 prolonged duration. And often times to get longer and
8 longer durations of autonomy, you need to have some form of
9 typically fossil fuel generation, a diesel generation. Now
10 we're testing a different way to get there using advanced
11 battery-storage technologies paired with solar, and so
12 that's all very wonderful innovations coming up to reduce
13 the emissions from long-term generation sources.

14 Let's see. The CEC added onto that DOE
15 definition: Managed customer critical resources. And I
16 think BLR highlights how that microgrid really serves as a
17 center for critical resources for the community as well as
18 the tribal unit.

19 And then the next one is: Provide customers,
20 utilities, and grid system operators with critical
21 services. So this is a really interesting area to the
22 utility, obviously, is how do we pair this concept of
23 resilience with operational benefits to the grid; and how
24 do we tease that out of how these technologies grow and
25 advance, and we create more sophistication; how can we pair

1 the tariffs and the operation of these systems to the grid
2 and the grid needs that are there. And so we're deeply
3 exploring this within PG&E, within our group at the Grid
4 Integration and Innovation.

5 So if you will go to the next slide, we will talk
6 briefly about: So in terms of the utility, you know we
7 needed to get a clear understanding of what are the
8 different buckets of microgrids and what do they mean to
9 the utility, the distribution system, the transmission
10 system; what does it mean to be able to use those different
11 microgrids within -- to leverage for the grid as well as
12 leverage for the customer.

13 So these three buckets were basically how we
14 placed different types of microgrids. And in the first
15 one, the single customer facility. We use the term behind
16 the meter, behind-the-meter microgrid, meaning you have a
17 single account of record, it's generally a customer, a
18 single facility. You know hospitals have been doing this
19 for a very long time, right. They have their back-up
20 generation. They need to stay energized regardless of what
21 the grid is doing. That essentially is a behind-the-meter
22 microgrid. We've come to call them microgrids more often
23 now, but previously that was really back-up generation.

24 So now if we think about that controllable
25 boundary, it can be: An individual customer; it can be

1 multiple facilities within an individual customer; it can
2 be a military base that has its own distribution system, a
3 vast number of facilities, very high loads, its own
4 generation, but it's still a single account of record from
5 the utility's perspective. So that all falls within the
6 behind-the-meter resource.

7 Typically these are -- behind the meter is used
8 for a customer need. A hospital is a great example. They
9 need to stay energized for the critical purposes that they
10 serve, so the customer resilience aspect. Sustainability,
11 I think BLR, Jana, you've really highlighted a lot of the
12 sustainability goals that align with leveraging a microgrid
13 for your area there.

14 And then outage costs and manufacturing
15 facilities, there's definitely a very high cost to grid
16 outages. So microgrids and the manufacturing environment,
17 the industrial environment, can really help with business
18 costs.

19 Oftentimes all of these drivers revolve around
20 how they're working with peak rates and charges with the
21 customer. So that's all really great. PG&E's role within
22 that is really primarily to facilitate the interconnection
23 processes. What do the generation resources mean? Is the
24 grid remaining safe, reliable, affordable, and do we have
25 the proper protections in place to keep the system

1 correctly operating. So that's our role within that
2 Category 1.

3 Category 2 gets rather interesting in the utility
4 space in that these are remote locations, remote locations
5 similar to the Klamath River Basin and the Hupa area. It's
6 Angel Island, which is in the picture there. And these
7 areas, we know that if we can enhance the reliability of a
8 remote area that has a lot of reliability challenges,
9 whether it's landslides or trees or difficulty assessing
10 those areas, then potentially we can use microgrids as a
11 least-cost option to the wires that we would normally
12 deploy in an area like that.

13 And, so just to highlight, one particular project
14 that we're working on currently is Angel Island. If you're
15 not familiar with that, Angel Island is in the Bay Area.
16 It's in the Bay off from Tiburon and right near the Golden
17 Gate Bridge. It has an undersea cable that extends over to
18 the Tiburon area. There were two cables, one cable failed,
19 the next cable was at the end of useful life. So we said,
20 our microgrid team stood up and said, hey, we should really
21 analyze a non-wires alternative for turning this island
22 into a microgrid.

23 You will notice the circuit is in blue, blue and
24 yellow, and it navigates around the perimeter of the
25 island, so we are using a distribution system similar to

1 what Dave was explaining in the Arcata Microgrid Project.
2 However, in this case we will remain connected to the land
3 as long as that cable is in operation. When the cable does
4 fail, then all of the generation facilities, all the
5 communication protocols to the control center in Concord,
6 will all be established and ready to operate that island
7 completely autonomously as a microgrid from that point
8 forward.

9 This was a non-wires alternative to our typical
10 planning process that put together a number of different
11 alternatives for addressing the cable. And what we've been
12 instrumental in doing is developing this alternative-use
13 case to be considered as a least-cost option, best fit for
14 that island. We are considering these types for many
15 different locations around, in the PG&E territory, and
16 we're excited. It's really a wonderful opportunity to
17 start to really think about using the density of
18 distributed energy resources and maybe putting additional
19 ones in, as we have to in Angel Island.

20 Angel Island will have a PV array, it will have a
21 battery system, and it will have a propane generator as
22 back-up when those two other systems are not available for
23 whatever reasons.

24 Our big challenge in these types of systems is
25 developing the ways of isolating the island from the

1 broader grid safely and having visibility with that in the
2 control center, so we can actually see, yes, power has
3 stopped to the island; yes, power is being delivered to the
4 island and loads are being served and they're being served
5 within Rule 2 compliance of energy quality, frequency
6 voltage, and that it's safely being operated. So all
7 that's observed and controlled through the control center.

8 And then there's a local autonomous controller on
9 the island that's actually managing the voltage stability.
10 As people are using different loads and the generation
11 sources shift from PV to battery, it will be managing those
12 different loads and keeping the grid stabilized that's on
13 that local area. So that's remote applications.

14 I want to add an exciting innovation that we have
15 been doing into looking into remote areas is also adding
16 these essentially low-cost options to developing a
17 microgrid, which is these pre-installed interconnection
18 hubs. And the idea here is you have a transformer base, a
19 ground grid built up, the ability to quickly bring in a
20 generation source that isn't a permanent investment.

21 So one of the challenges with microgrids is you
22 make a large investment in these energy resources and they
23 sit there. And the value and the investment of that
24 capital expense is challenging at times to justify. So one
25 approach to more rapidly deploying these in our more remote

1 areas is to deploy these pre-installed interconnection
2 hubs, which allow us to have the infrastructure and to be
3 able to bring in generation sources on an as-needed basis,
4 reduce the time that it takes to get there, reduce the
5 outage rate.

6 And then there's also some resilience strategies
7 with this in that we could plug in a portable EV charging
8 station to it. We could bring in, as technologies change,
9 anything and plug it into it, so it could be portable
10 battery storage. When that becomes more cost-effective, we
11 get over some of the DOT regulations, we'll be able to
12 bring in portable battery storage to support certain
13 communities. We have deployed one of these in Orleans,
14 along the Klamath River, and we have deployed one of these
15 in Petrolia, in Southern Humboldt, two areas that typically
16 have long duration outages, frequent outages each year, and
17 are very difficult to get to, takes many, many hours to get
18 to them, 10 to 15 hours just to get there, and then another
19 6 to 10 hours to set the units up and get it plugged in.
20 And so you're looking at almost 24 hours of downtime before
21 it's reenergized. And that's just once we've been deployed
22 to do that, so they may have already been out of power for
23 much longer.

24 So we see these as a big strategy. We're excited
25 to be able to use them and deploy them, and we're moving in

1 that direction to develop the standards to be able to do
2 that in a lot of different areas.

3 So moving onto the exciting notion that we have
4 on the third one, which is by far Dave highlighted a lot of
5 the challenges with a multi-customer microgrid. But now
6 essentially we're taking a broader usage of the grid.
7 We're isolating the control points on that grid with
8 multiple customers. And in that environment, as Dave
9 mentioned, you may have a certain entity will own the
10 energy services, a certain entity will own the distribution
11 services, and then you have got your customers and your
12 customer loads. And then you may have critical loads
13 within that pocket. You may have controllable loads within
14 that pocket.

15 And, as I mentioned earlier, there is a time of
16 duration. So if we have a certain amount of generation
17 investment into that pocket, we have created the ability to
18 see it and control it and know that it's safely being
19 operated. We also need to know who's participating as
20 customers, who's willingly participating in that
21 incremental benefit of resilience.

22 So the grid is rather reliable as it stands, and
23 what we're providing is an incremental additional
24 reliability benefit. And so we have to sort out how is
25 that incremental reliability benefit passed onto the

1 beneficiaries of that service. And as you know one of the
2 big questions is, does PG&E broaden our application of
3 these incremental benefits to the broader rate base and
4 pass it across the system to help pay for these or do we
5 create a rate structure that the very customers that are
6 benefitting from it benefit from it and pay for those
7 services? So there's a lot of questions to be answered.
8 We're really excited to do this.

9 I'll move to that in this particular example with
10 the Arcata microgrid, we had an early partnership with
11 Schatz. They reached out to my team. We started working
12 together. We realized that this is a movement, this is a
13 direction we want to go in, these multiple-account
14 microgrids, using the distribution grid.

15 We also realize that we need to gain the
16 infrastructure in order to be able to do that. So we
17 started figuring out, you know, what can this project bring
18 to develop certain aspects and what does PG&E need to do.
19 So we applied and generated another EPIC-level project that
20 would help us create all the distribution standards to
21 allow microgrids to happen. How are we going to control
22 it, what safeguards do we have in place, what programming
23 is going to be required in all these third-party microgrid
24 controllers, how do we need to see this at the control
25 center, how are we going to communicate with it, what are

1 the protocol for the operators to be able to operate the
2 microgrid and to what level? So all of those things need
3 to be sorted out, so we developed a separate project
4 altogether in partnership with the Schatz team to use this
5 particular project as that demonstration piece for
6 essentially the state. So we're very happy to be doing
7 that.

8 We should be getting word from the CPUC in the
9 coming months on whether that funding stream should be
10 approved, --

11 COMMISSIONER DOUGLAS: Great.

12 MR. STALLMAN: -- which would be really
13 fantastic.

14 Lastly about this, in the multi-account
15 microgrids, you know we're really focusing a lot on
16 resilience and we're focusing on additional grid benefits.
17 And we see a lot of usage of microgrids from the grid and
18 operational benefits from peak shaving to voltage control
19 to offloading, which allows us to shift load to other
20 locations during peak. There is a lot of dynamic activity
21 that goes on behind the scenes with operating the grid.
22 Our grid operators are switching electricity from one
23 location to another location, depending on the demand
24 that's occurring and what generation is available. And
25 microgrids play a role in that because we can take load off

1 from a historically challenging area and shift load to
2 another area that might be equally as challenged without
3 the same facility. And now we actually open up bandwidth
4 on our system to increase those options and the
5 optionality. So I'm really focused heavily on when we are
6 considering a microgrid. There is a resilience element to
7 it, but there should also be the value out of the
8 operational benefit to it to make sure that the value is
9 there out of the overall project.

10 Lastly, I think I'll mention that we are heavily
11 focused on taking a lot of the learnings from the state's
12 recent natural disaster activities. And we're focused on
13 looking at critical facilities; essential and certainly
14 facilities defined by the CPUC; critical facilities as
15 defined by our restoration priorities. And those
16 restoration projects are categorized, you know, one, two,
17 three, and four, one being the highest restoration
18 priority. And those are often in partnership with
19 different entities designated as what do we need to restore
20 because it's that critical; like 911 communication towers
21 to give you an idea of what category one. They're truly
22 critical resources in the event of a natural disaster.

23 So we are identifying what those critical
24 resources are, partnering with the Red Cross to identify
25 those evacuation facilities and shelter-in-place

1 facilities. We are partnering with communities to try to
2 identify where are the community resilience zones or hubs
3 need to be, where do people need to congregate and shelter
4 in place, similar to BLR, to be able to identify. These
5 are opportunities for potential microgrids in the event of
6 a natural disaster.

7 And so I think I'll leave it at that but know
8 there is a lot of groundwork being done. We're doing it
9 right here in Arcata, which is really exciting. We're
10 doing it in remote locations, like Angel Island and the
11 Klamath River Basin and in Petrolia. We're doing a lot of
12 resilience-level focus throughout our territory as we
13 develop operational strategies to operate our grid in a way
14 that will be advantageous to communities during the face of
15 natural disasters, and microgrids play this really key role
16 in that.

17 COMMISSIONER DOUGLAS: All right. Well, thank
18 you very much.

19 (Applause.)

20 COMMISSIONER DOUGLAS: So the enthusiasm of this
21 panel is really infectious. And you know it's clear as we
22 listen to you that we are seeing the future kind of unfold
23 in front of us through some of these early projects and
24 early opportunities and we're just seeing this confluence
25 of technology development and change and how that affects

1 the grid and how we need to evolve the grid and then our
2 thinking, you know, environmental change and climate change
3 and resilience and renewable energy. And all of this is
4 coming together in these fascinating ways.

5 I don't have a question right now. I want to see
6 if Christina or David do.

7 MS. SNIDER: I do.

8 COMMISSIONER DOUGLAS: Go ahead.

9 MS. SNIDER: This is for Mr. Stallman. We're
10 talking about the pre-installed interconnection hubs. And
11 I wanted to hear a little bit about how you determine where
12 you're going to put those and whether it's generated just
13 by PG&E or whether you have community input.

14 MR. STALLMAN: I would say that community is
15 always involved in these decisions and they're usually
16 driven from a reliability standpoint. As we start to look
17 more intently at resilience applications, then obviously
18 the community becomes a very important piece to that.

19 Meeting and working with emergency operations;
20 working with Cal Fire; working with different entities that
21 have interests in where to move people; what the procedures
22 are during a natural disaster is really important, to know
23 where the greatest value of any form of microgrid,
24 including pre-installed interconnection hubs. A lot of
25 these PIHs, the intent behind that is reliability and

1 improving reliability on remote areas. And we have adapted
2 that purpose to begin to experiment with leveraging lower-
3 cost levels of deploying microgrids. If that answered your
4 question.

5 MS. SNIDER: I think so.

6 MR. STALLMAN: Kind of.

7 MS. SNIDER: Thank you.

8 COMMISSIONER DOUGLAS: You know, as we move
9 forward with these new technologies we're really excited to
10 see the pioneering work and then of course we're
11 immediately after you about, well, how can we employ it
12 more broadly, how do we ensure that everyone benefits from
13 this, you know, what about rural and more remote areas that
14 don't necessarily have the wealth of at least immediate in
15 the location expertise and partnerships and what's the
16 outreach and how are you -- you know, I know that there are
17 -- I know that you're all working in that direction, but
18 maybe I'll just ask the question.

19 You know in terms of getting the benefits of this
20 kind of technology and resilience and greater reliability
21 and even as we heard from Yurok presentation earlier today,
22 expanding electricity to areas that don't have that service
23 yet, what are the steps we need to think about as a state
24 to be able to maximize the outreach and the broader
25 benefits of this kind of technology?

1 MR. CARTER: It's a great question.

2 MR. STALLMAN: It's a great question.

3 MR. CARTER: Yeah.

4 MR. STALLMAN: You want to take a stab at it.

5 MR. CARTER: Sure.

6 MR. STALLMAN: There's a lot to bundle up there.

7 MR. CARTER: Yeah. Well, I think to the extent
8 that you can encourage utilities to be more like PG&E, I
9 mean in terms of statewide, I've heard a lot of stories
10 about some projects that try to get traction in other areas
11 and, you know, you get stuck in the mud basically trying to
12 get through the interconnection process.

13 And I mean we -- I think that you do a good job
14 of focusing -- making your projects report out to these
15 technical, these knowledge transfer plans, and Jana has
16 done a phenomenal job on the Blue Lake Rancheria Microgrid
17 Project of getting the word out, and so that the word is
18 getting out.

19 I think where I don't see it really soaking in is
20 at some of the other utilities. I'm sure it is and, you
21 know, I'm just probably catching the couple examples. I'm
22 not sure how you guys can influence that, but the type of
23 project that we're doing out at the airport with PG&E in
24 the way that you can see how PG&E is moving that
25 architecture forward and is thinking about it, so you know

1 if there is a way to -- maybe through the Public Utilities
2 Commission we'll pull together more of a knowledge transfer
3 among the IOUs, that that might be something that could be
4 done.

5 COMMISSIONER DOUGLAS: Okay.

6 MR. STALLMAN: I have an addition to that.

7 MR. LEHMAN: I'm Peter Lehman from the Schatz
8 Energy Research Center. The reason -- there are now --
9 there's one microgrid at BLR and there is another one
10 coming, the Solar Plus Project, and there's a third one
11 coming, the ACV Project. They're all funded by the CEC.
12 We couldn't have done them without that funding. So
13 supporting future projects with funding is certainly
14 necessary. I think as communities and as governments
15 become more concerned about resilience and wanting to pay
16 for it and plan for it, then you will see more and more of
17 these systems coming.

18 MR. STALLMAN: I just wanted to quickly comment
19 that in doing a lot of my research around this state and
20 trying to figure out where is the best benefit, where do
21 they really, really need to go, and the remote areas
22 definitely have high gravity for these types of projects.
23 And I have looked at a number of other areas that we've had
24 requests to look into, which are high density areas, lots
25 of grid infrastructure, lots of transmission, lots of

1 distribution networking where there is lots of switching
2 opportunity. And you look at the reliability histories and
3 you go, wow, there's been one outage in ten years. And
4 then you have to really question the value of what happens
5 there.

6 So there is -- I keep floating back to there is
7 operational value on a daily, weekly, annual basis. And
8 then there is this that when the big one hits, that value
9 is immense, but to only do it for the value of the big one
10 is hard for us to get a handle on as a utility. We look at
11 it and we got a lot of costs, we're going to pass a lot of
12 costs onto the electric using community and how -- what
13 does that really mean. And if we really do this a lot in a
14 lot of different areas, what does that mean to our rate
15 base, what does that mean to our consuming population?

16 So I really just want to encourage a partnership
17 with the operating entity, the utility, in the case of my
18 perspective, where we can help inform where the best money
19 could be leveraged in different areas, not from the
20 utility's perspective but from that community and the
21 overall rate base and what is the best strategy for
22 deploying those funds to the best benefit, to the best
23 resource centers. And I think that's a very important
24 piece of the puzzle.

25 MS. GANION: So having worked with a stellar team

1 of partners to build a microgrid, I think one of the things
2 that we have really come back to time and time again is
3 that because we have this experience now on the North Coast
4 and the expertise on almost every level, I mean Dave Carter
5 really has led this effort, -- we need to be able to
6 download what's in your brain, just some sort of mechanism
7 for everybody to have access to, but -- so this is my
8 point, which is, you know, we are poised here to become
9 certainly a clean energy, that's specifically a microgrid,
10 center of excellence. But across the state I think looking
11 at academic, industry, governmental partnerships to not
12 only take this recent and really exciting learning and
13 transfer it broadly but also pay attention to our STEAM and
14 STEM education, try to figure out how we could use our
15 facilities here, because we're going to have three very
16 different scale and different operational microgrids, so
17 that people can come learn both the strategic reasons to do
18 it and the benefits and the safety but also the technical
19 details, how do you integrate these systems. Because, as
20 you said, you know, before it was just sort of called
21 emergency back-up power, microgrid is a better word. It
22 sounds better, it's just more attractive, more exciting.

23 But underneath all that it's very complicated and
24 it's not off the shelf yet. And so I would just put that
25 out there, that we need engineers, we need electricians, we

1 need electrical engineers, --

2 MR. STALLMAN: Standardization.

3 MS. GANION: -- we need standardization across a
4 broad spectrum of equipment and technologies in the
5 integration of all of this stuff. And I think that's what
6 the Schatz Energy Research Center certainly has to bring to
7 the table, is this integration knowledge and really we are
8 going -- as I said, we were going to have that at several
9 scales, facility, community, and now this big sort of
10 airport complex. And -- and that's something to look at
11 for a wider resource for field study and for technical
12 integration.

13 COMMISSIONER DOUGLAS: All right. Well, thank
14 you. Thanks for that.

15 (Applause.)

16 COMMISSIONER DOUGLAS: All right. I think we are
17 going to roll straight into our next panel. And so the
18 first three speakers on this panel will be from state and
19 federal agencies, just kind of talking about different
20 approaches on offshore wind and resources available. So
21 we'll strike that with Necitas Sumait with BOEM.

22 * MS. SUMAIT: Hi. I'm Necitas Sumait with the
23 Renewable Energy Section for BOEM. And it's been a
24 pleasure to -- you know this is the first time I've been in
25 this area and it's been a pleasure to meet many of you.

1 And I look forward to this forward-thinking energy planning
2 that you have here, all these ideas born in Humboldt that
3 will become the model for replication elsewhere. I thank
4 the Energy Commission for facilitating this and allowing us
5 to have this forum to inform and to share data and, again,
6 the hospitality of you all here. And I had my Dungeness
7 crab and baked oysters yesterday, so I'm a happy camper.
8 Thank you.

9 So, anyway, the Bureau of Ocean Energy
10 Management, quite a mouthful, thank god we have an acronym,
11 one syllable, BOEM. Next slide, please.

12 So BOEM is involved in the process because we
13 oversee the nation's energy resources in the outer
14 continental shelf. Outer continental shelf defined as 3 to
15 200 nautical miles off the coastline. We have -- we got
16 our renewable energy authority through the Energy Policy
17 Act of 2005. I come from the Pacific Region, and we handle
18 waters off of California, Oregon, Washington, and Hawaii.

19 The OCS is a big place, but we have no
20 jurisdiction within areas that are designated as national
21 park, national wildlife refuge system, national marine
22 sanctuaries, or any national monument. Slide, please.

23 In addition to our energy leasing program, which
24 I will spend on more of the slides, we do participate in
25 ocean planning with the West Coast Regional Planning Body

1 and we have a fairly robust environmental studies program.
2 It's basically in two sections. We have a group of
3 scientists that reviews the potential impacts of the
4 projects and we also have an environmental studies program
5 in which we have invested funds to try to understand the
6 potential impacts of offshore renewable energy. Actually
7 it has the costs where we spent 7 million from 2010 to
8 2017, growth curve 2018 to 2021, whether or not that
9 continues, it looks like we doubled it. So we are trying
10 to understand the different impacts that offshore renewable
11 energy could have on our resources. Next slide, please.

12 This slide is just intended to give you the
13 links. I obviously can't read it. Just that all of the
14 studies, ongoing and completed, are posted on our website.
15 We try to organize it by state. And I think we may still
16 have hard copies of all the various studies that are either
17 ongoing or completed that are most relevant to the Pacific
18 Region. So I have some of those slides -- our papers are
19 still out there, the hard copies. Next slide, please.

20 So the Renewable Energy Leasing process. The key
21 mechanism is this Intergovernmental Renewable Energy Task
22 Force. It is established upon request by the Governor, so
23 Governor Brown requested that we establish a task force on
24 May 12th, 2016, almost two years ago. The task force is
25 comprised of federal agencies, state agencies, local

1 agencies, federally-recognized tribes. It is a forum in
2 which we share data, try to inform what we know about the
3 different technologies, environmental issues, and just
4 conflict-use concerns.

5 With that said, all task force meetings are
6 publicly noticed and the public is welcome to attend. So
7 it is a task force and it is a forum, but everyone can
8 attend any of our meetings. Next slide, please.

9 So offshore wind. The offshore wind turbines is
10 a proven technology, right. Fixed, fixed foundations, they
11 exist. I think there are 14 gigawatts of deployed
12 technology already in Europe, primarily in U.K., Germany,
13 and Denmark. We have an offshore wind project in the U.S.,
14 in Block Island in Rhode Island. The trick is then -- and
15 then there's here in California, as you're familiar, our
16 shelf drops off very quickly, and so we must rely on the
17 next generation technology which is floating. So the
18 innovation really comes from marrying two proven
19 technologies, I think, which is the offshore wind turbine
20 and floating platforms, which has been used in other
21 industries. So that is the -- those are just three of the
22 different platforms. There are several of them. And so
23 California is going to have to rely on floating technology
24 going forward.

25 The largest deployed floating offshore wind is a

1 30-megawatt unit that is off of Scotland, so there is such
2 a project that's already in place. Next slide.

3 So we begin on the Central Coast, primarily
4 because that's where we have received the initial interest
5 from commercial developers. It's an area with good wind
6 resources and it also has the potential to have
7 transmission grade interconnection available with the
8 closure of the Morro Bay Gas Power Plant as well as the
9 Diablo Canyon Nuclear Power Station. So I believe there is
10 about 3,000 megawatts there that could be available for
11 offshore wind. And that's for emerging technology and new
12 projects. Not having to pay for the transmission
13 infrastructure is a big help for these initial projects.

14 So that's why we have a lot of commercial
15 interest in the Central Coast. And we have been in a
16 planning process there. Where we are right now is that --
17 and you will hear from Steve Chung, the Department of
18 Defense issues, there are some, they have some assets and
19 some operations in the Central Coast. And so we're
20 continuing to review the mission compatibility, military
21 operations with offshore wind deployment. And so, you
22 know, that's the current status with the Central Coast.
23 Next slide.

24 So moving onto the Northern Coast, we have not
25 yet received any kind of formal application from RCEA, but

1 you should know they have put out an RFP and they're
2 interested in trying to do a project here in the North
3 Coast. So it's a natural progression of our outreach to
4 now be here.

5 We've been collecting data all along the coast,
6 but we wanted to be here to try to understand, you know, we
7 can have spatial data and all that in the computer, but we
8 wanted to reach out to the different groups right here in
9 the local community to find out other inputs into our
10 planning here in the North Coast. Next slide. please.

11 So far here is what we have done in California.
12 Before we even started after the task force was formed, we
13 identified all the different stakeholders we ought to reach
14 out to, the different materials we should have to inform
15 them, the different contacts that we have, and try to come
16 up with an outreach plan with the timeframe, I believe we
17 put ourselves six months, and we actually did a pretty good
18 job in doing that.

19 And so what do we do with all this data? The
20 State has used it in the past and what we're using now, and
21 Scott will give you some information on that, the database
22 and gateway. It is an incredible, very transparent, useful
23 data portal to put in all of the datasets that we have,
24 over 600 datasets from academia, from NGOs, from
25 environmental, from -- you know from all sorts of people,

1 we put that in there. And so it provides a very
2 transparent, easy-access way for everyone to know what we
3 have found so far.

4 We also have had focused meetings. You know we
5 have general meetings, but sometimes it allows -- you know,
6 it's good to have more time. Let's say the fishing
7 community and the environmental groups, the tribes, to just
8 reach out and look at their more specific concerns with
9 regards to potential offshore wind in the ocean, and so we
10 did that.

11 So far I think we have done 50 plus now, and I
12 know that's old data, stakeholder in-person meetings or
13 phone calls, to be out there in the community to try to
14 understand potential concerns with offshore wind.

15 We have also put together all of our data so far
16 -- not data but all of our inputs that we have received
17 through the stakeholder outreach. It's posted on our
18 website. So there is an Interim Outreach Report. You're
19 welcome to take a look at that and see what we have heard
20 so far.

21 So this is the famous renewable energy leasing
22 process slide which many of you have seen. It's really not
23 as -- you know, it's fairly lengthy. It's a multi-year
24 process. All the work that I have just said, we're still
25 at the first bullet on that first phase. So it should give

1 you an idea of just how important it is to have pre-
2 planning for BOEM. We have invested all of this time and
3 we haven't really started reviewing the process, because we
4 want to understand upfront what those potential issues are
5 so we can try to de-conflict them as early as possible.

6 And so through all of this outreach, once we have
7 sufficient information, the next step for us would be in a
8 public notice to identify potential areas in what we call a
9 Call for Information and Nomination. So basically this is
10 a public notice in the Federal Register that would say
11 these are the call areas along California. That goes out
12 for a public review process. And depending on the comments
13 received, which is from, you know, industry as well as just
14 local stakeholders, we could refine that data and identify
15 within that big call area wind energy areas, okay. Then
16 those wind energy areas, which would be smaller, not any
17 bigger than the call area, would be subjected to an
18 environmental review under NEPA.

19 The federal action that the review will be in
20 accordance to is the issuance of a lease, so the NEPA
21 review would be commensurate with that federal action to
22 issue a lease. Once the environmental review is done on
23 that wind energy area, we could then identify lease areas,
24 potential lease areas.

25 In the leasing process now, which is the second

1 phase, once we identify lease areas, we first issue
2 something called a Proposed Sale Notice. In it, it will
3 show the areas that we're proposing to lease and the
4 general parameters of the lease process going forward.
5 That is issued for a 60-day notice period. That is a point
6 where if you want to input into how you believe, you know,
7 either we've missed it or things we haven't considered, if
8 there are other suggestions on going forward, that would be
9 a good place again for public comment.

10 So after receipt all of that, we issue a Final
11 Sale Notice, which will include the details of the lease,
12 the instructions primarily to the potential bidders. And
13 assuming a competitive process, then an auction will then
14 be held.

15 The lessee at this point does not have the
16 authority to construct. The lessee at this point simply
17 has the right to characterize the site. So they do that by
18 submitting something that we call -- now I'm in the third
19 phase -- a Site Assessment Plan. And so they will include,
20 if they want to do more wind resources monitoring, if they
21 want to do sea floor mapping, they include all that in a
22 plan. We review the plan. And they really -- they have
23 five years to complete all of that plan. If depending on
24 how much information they need or they think they need,
25 then the next phase would be for the developer, the lessee

1 to file what we now call the last phase, which is the
2 Construction and Operations Plan. So really this is where
3 we begin to see the details of the project, potential
4 layouts, the size of turbines. This is where we have the
5 detail on which to do a comprehensive EIS. So here is
6 another place where a NEPA would be performed.

7 After approval of the COP, the Construction
8 Operations Plan, the developer will then complete a
9 Facility Design and Fabrication Installation Report, which
10 is just simply how are they going to plan to carry on the
11 construction of the design and construction of the project.

12 Before they can begin any construction, we do ask
13 developers to have a Conceptual Decommissioning Plan and a
14 fund to initially fund that potential decommissioning,
15 which is assessed on an ongoing basis, so it would be
16 commensurate with what we believe it would take to
17 decommission that project.

18 COMMISSIONER HOCHSCHILD: Nocy, can I ask a
19 question?

20 MS. SUMAIT: Yeah.

21 COMMISSIONER HOCHSCHILD: Yeah. So your agency
22 has been involved in offshore wind analysis all over the
23 United States. Could you just for the benefit of the
24 audience here share how California's offshore wind
25 potential as a resource stacks up against the rest of the

1 country? And I mean on a scale of 1 to 10 how good is the
2 resource here? Then, you know, how does this portion of
3 the resource compare to the rest of the state?

4 MS. SUMAIT: Well, there -- you know, the public,
5 the private industry is here, but a minimum of seven meters
6 per second is the wind resource that we work with that, and
7 we have that. Up here it's like a leap up to ten in the
8 North Coast, so it's even a better resource.

9 And just even to put in stack, I know the
10 Atlantic Region has several leases, but if you look at the
11 potential RPS demand, California as a single state matches
12 or even exceeds, say, the Mid-Atlantic Region RPS demand.
13 So California can really weigh in on offshore wind in a big
14 way because the RPS demand is just there.

15 MR. STALLMAN: A question about the
16 interconnection process to the transmission offtake. Where
17 does that fit in this scale?

18 MS. SUMAIT: It would be that we don't
19 necessarily -- we would review the cable that would come
20 from the inter array that traverses the OCS.

21 MR. STALLMAN: Uh-huh.

22 MS. SUMAIT: And then any cable that is on State
23 lands would then go through a state review. The
24 interconnection process really is where the developer could
25 feel that they need the de-risking part. In other words,

1 it's really up to them to file when they want to go ahead
2 with the transmission planning process there. I mean
3 selfishly, from my perspective, it would be good to know if
4 PG&E can tell us the likelihood and advantages of -- you
5 know there is that 3,000 megawatts in the Central Coast.

6 MR. STALLMAN: This is where I'm kind of leading
7 to, is does it get included in the environmental review
8 process from the infrastructure and development that would
9 need to occur to handle the offtake of the report?

10 MS. SUMAIT: Yeah, to the extent that it's within
11 our jurisdiction. If it's -- obviously, you know, if it's
12 interconnecting it to an existing transmission, there is no
13 --

14 MR. STALLMAN: Right.

15 MS. SUMAIT: -- there is minimum environmental
16 impacts. So that's why the Central Coast is particularly
17 interesting and that's why that was our first focus. So
18 3,000 megawatts on the Central Coast, we'd love to hear --
19 I mean that would be a good input, I think, to the BOEM
20 process, is for us to understand, or PG&E, how putting
21 projects here in the Central Coast would help the
22 transmission grid, so perhaps we could chat about that a
23 little bit more.

24 Next slide.

25 Next steps. So it's been a pleasure to work with

1 the State, with the leadership of Commissioner Douglas and
2 Commissioner Hochchild. It's just been -- you know BOEM
3 has all kinds of renewable energy task force meetings all
4 along, on the Pacific and in the Atlantic, but I think we
5 have the best in here, because the State has really been
6 involved with us in all of the stakeholder outreach.

7 You will hear from Scott in terms of how they
8 have housed the data and how they have -- you know, they
9 know how to do planning here in the state, so it's been a
10 collaboration, so that's where we're going to continue to
11 do that. In the Central Coast, we're going to continue to
12 work with the Department of Defense to understand the
13 mission compatibility issues there. We're going to
14 continue North Coast outreach here.

15 To the extent -- I mentioned the
16 Intergovernmental Renewable Energy Task Force - if you
17 belong to any one of those groups that I said, which is
18 federal, state, local, or federally-recognized tribes, and
19 you're not already in the task force, we do have a
20 California task force, so let us know about that and
21 potential participation in that.

22 And the next step, I believe, would be to do an
23 in-person task force meeting sometime in the summer/late
24 summer, and if we find areas then, you know, the next step
25 in the process would be to do a Call for Information and

1 Nomination.

2 So I believe that's it. I do have other
3 colleagues here and a couple of whom are standing out
4 there. Jean Thurston is our Renewable Energy Coordinator.
5 We also have Susan Zaleski, who is in our environmental
6 group; and Donna Schroeder, she is, among other things, our
7 fishing expert. So feel free to reach out to any one of us
8 and we'll be here. So thank you.

9 COMMISSIONER DOUGLAS: Thank you, Necy.

10 (Applause.)

11 MR. FLINT: Thank you. Let me get this going
12 here.

13 Thank you, Neci.

14 Can you guys here me okay?

15 COMMISSIONER HOCHSCHILD: Yup.

16 MR. FLINT: Great. So that is on and not off,
17 okay, good.

18 Thank you, Necy. It's been great to work with
19 BOEM, so I just wanted to keep that going, share that
20 camaraderie.

21 The Energy Commission is the lead planning entity
22 for the State in energy matters, and so under that we have
23 been -- we have undertaken a leadership role in supporting
24 the renewable energy -- Interagency Renewable Task Force by
25 gathering data and information and entering into an early

1 planning process. And, basically, that just means pulling
2 together existing information and having a lot of
3 conversations around that information. One, to get more
4 information, to do a better job; and, two, to identify
5 areas that might work best for wind energy off the
6 California coast and at the same time take an early look at
7 minimizing potential conflicts that lessens our effort
8 needed to deconflict those areas when we get to the project
9 level.

10 So what we've been doing is a lot of data
11 gathering, and I'll talk a little bit about what data is in
12 a minute, but we've been putting it all on the site, which
13 is called Data Basin. And the State and the Energy
14 Commission did not develop Data Basin nor the concept but
15 we discovered access to it and have been using it as a
16 platform to make data available for folks, data and other
17 sorts of things, and I'll talk briefly about those.

18 So step one has been to collect a lot of existing
19 data. There's a lot of places where data already exists.
20 You can go to those many sites. We're not just duplicating
21 that here. We're bringing together the most pertinent
22 information and related ocean wind energy planning and
23 putting it on the site so that we can make it accessible to
24 everyone. So, one, we're transparent with data. Everyone
25 has access to the same data on the Data Basin, and it has

1 some unique functionality. A couple of those are: One,
2 not only can you just download data from here, you can
3 actually go in and make your own maps or work with the maps
4 that are set up on Data Basin and save them.

5 So you can do some GIS here on your desktop,
6 essentially, just in a browser with an internet connection,
7 so this is one way to interact with the data. So, one, you
8 can download it if you have your own system, and work with
9 it. Number two, you can work with it right here in an
10 internet-enabled web space.

11 A second unique feature of Data Basin that we
12 like to use and take advantage of in these planning
13 processes, is you can actually upload your own data here.
14 So if you have datasets that you don't want to share
15 publicly but you want to be able to look at and with the
16 publicly-available information and you don't have the
17 capability to download it, you can even do that in the
18 system. You can set up private accounts and protect your
19 data. You can share that account with a work group and
20 just limit access to that particular work group.

21 The folks who run the site, the CEC, can't even
22 see or know that your data is there, so you have complete
23 control over your data. This has worked well and has been
24 a feature that folks took advantage of, certain
25 stakeholders took advantage of, in the desert planning

1 effort. It worked really well. So that's available to
2 folks, again, to level the playing field and be transparent
3 and provide more access to folks, to either one, take that
4 data and actively participate in the process, or at least
5 follow along in the process and understand what data is
6 there and how it's being applied to decisions that are
7 being made during the planning process or the siting
8 process.

9 So what's next with this site. We have 600
10 datasets gathered. They're organized into these primary
11 categories that you see in the middle, the California and
12 Marine Coastal Energy, California and Marine Coastal
13 Management, California and Marine Coastal Ecology and
14 Natural Resources, California Marine Fishing and
15 Traditional uses. So within those categories there are
16 hundreds of datasets, up to 600.

17 The next step for here is to identify the key
18 datasets out of those 600 that we're using in the planning
19 process and identify them for folks. They would show up
20 when you go to the website, this is actually what it looks
21 like. Down there in the Featured Items category you will
22 then see key datasets and you will see some maps prebuilt
23 with those key datasets. Maps about infrastructure and
24 where the good wind resources are, maps about habitat and
25 fishing and where the good resources are. Maps about other

1 elements of the environment and other uses going on out
2 there and where they are in conjunction to good wind areas,
3 so that's what we're working on next.

4 We've gathered a lot of data. It's taken time
5 and we're not done yet. We're just getting started. This
6 data that we've gathered so far gives us a really good head
7 start on how to identify those areas that would perhaps go
8 into a BOEM Call for More Information or a wind energy area
9 identified by BOEM. So that's the purpose of gathering
10 this data, but we're just getting started because we also
11 have a lot of things that aren't here. And, as Necy
12 described, all during the development process there will be
13 more information being gathered and brought to bear on the
14 analysis of potential impacts and effects of specific
15 projects. And that will get more and more specific as we
16 go along. So for now it's the big areas that we're trying
17 to look at to help narrow down the conversation.

18 So there is also data that you can't map, data
19 you don't want to map, and we still want folks to be able
20 to provide that sort of input to this process. So while
21 we're going to hand the keys off to folks with the site to
22 use the data, we'll move into the backseat to be a backseat
23 driver. And just remember this time it will be in an
24 electric vehicle, so we might be a little closer. It's a
25 little small and maybe a little closer than usual in the

1 backseat.

2 (Laughter.)

3 MR. FLINT: So we want to continue to work with
4 folks and add a lot of to do around data, particularly
5 fishing data. The fishing data on the site only tells a
6 small part of the story. So we want to bring that data
7 out, work with the fishermen, fishing groups, however they
8 want us to do that, and really tear that data apart and
9 figure out a way to integrate their issues and information
10 that may not be mappable but still have a way to deal with
11 it in this environment and make it visible and clear.

12 We started that conversation with tribal
13 governments too and we hope to continue to pursue that and
14 make this information available to tribal governments for
15 the same sort of effort.

16 A lot of our focus has been on science data.
17 We've had some ad hoc science help. We've asked a set of
18 key data questions: Do we have the most relevant and up-to-
19 date data; would you consider these complete and
20 appropriate; how do you recommend they be used in
21 performing a screening, planning exercise; is this data
22 usable by itself or with other datasets, should be looked
23 at in combination.

24 It says scientific data here, but data does not
25 have to be scientific. There is data that comes from hard

1 science. There is data that's science-based. There is
2 data on community issues and community values that are just
3 as valid and can be put on this site and integrated into
4 the planning process, so that's part of our effort as we go
5 forward, and we'll assist with doing that.

6 So I promised Commissioner Douglas I'd hurry and
7 not show any maps, but I can't not show a map and talk
8 about data.

9 (Laughter.)

10 MR. FLINT: So to answer Commissioner
11 Hochschild's questions a little bit, I don't have the
12 numbers elsewhere in the world, but we have about 112
13 gigawatts of technical capacity off the California Coast.
14 Not all of that is accessible. The stronger winds and
15 better wind from a capacity factor are in the north of the
16 state, where we are now. The set-up in the South Coast
17 being close to load and having more areas to access the
18 existing grid provide other opportunities that folks are
19 looking to take advantage of. So there are different sets
20 of opportunities at each part of the state.

21 I'm only going to show you one more map. How
22 would you put together this data and start using it for
23 this sort of conversation, so let me get to this one. So
24 what we have here are three sets of data that are available
25 on Data Basin. The blocky data you see near Humboldt Bay

1 in the light green, transparent, is fishing data. It tells
2 us some of the highest value fishing areas off Humboldt
3 Bay. This is just one piece of data, and I set the cutoff
4 on what I wanted to show, so this is just one look at it.

5 The areas in blue, the blue bubble at top and
6 bottom, and the little gray area on the very north off of
7 Crescent City are Humpback and Gray Whale feeding areas, so
8 those areas of importance to those species that we might
9 want to look at avoiding.

10 The high value areas of fishing are areas we
11 might want to look at avoiding.

12 And then vessel traffic on the outside, probably
13 a good idea to avoid that.

14 What you see in the dark gray in the middle is
15 assembly of technical data that identify optimal areas for
16 wind based on wind speed, depth and distance to the
17 connection, which is Humboldt Bay Power Plant.

18 So this is just one way to start putting this
19 data together and getting an early look at narrowing down
20 the conversation that is just getting started through this
21 early planning effort about what are the best places to
22 look at, so we can narrow down that conversation a bit and
23 focus on those areas most likely to produce viable projects
24 and to avoid important resources and important community
25 values. Thank you.

1 MS. [SPEAKER]: Which color was the best?

2 MR. FLINT: Pardon?

3 MS. [SPEAKER]: Which color was the best for
4 offshore wind?

5 MR. FLINT: And this, again, is one way to look
6 at, only one way to look at it and only certain data, but
7 it's the dark gray things that are up kind of in the
8 middle. And you can see some of them are half conflicts
9 and some of them have no conflicts based on the datasets
10 that I have decided to put up. But if I put them all up,
11 it would be really messy. So another reason to work with
12 smaller groups through the issues as we go along.

13 And the only other thing to say about data, it
14 doesn't have to be in scientific -- Crayons are okay. When
15 we go out and talk to folks, we want -- bring your Crayons
16 but bring the 128-color box, because we're already running
17 out of colors to represent a lot of the resources and the
18 interests all up and down the state. So thank you.

19 (Applause.)

20 COMMISSIONER DOUGLAS: All right, Steve Chung.

21 MR. CHUNG: Can you all hear me up there? Yeah,
22 I don't do that quite too well. I don't (unintelligible)
23 too well. You got a new clicker? All right, great.

24 Unlike Scott, I do listen to my State colleagues
25 and I will keep my portion short, but for some of you that

1 we've met this week, thank you for your hospitality. I'd
2 like to thank the Commissioners for the invitation and the
3 local agencies here in Humboldt. My name is Steve Chung.
4 I am with the Department of the Navy. I'm the Encroachment
5 Program Director overseeing the six southwestern states.
6 California is one of them. I am also here with my compadre
7 from the Air Force, Scott Kiernan. Raise your hand, please.

8 And I also am the Department of Defense Point
9 Lead Coordinating Offshore Activities in the state of
10 California. I will say I knew today was going to be a good
11 day, when the Department of Defense provide a presentation
12 and the slides and we are the shortest slides there --

13 (Laughter.)

14 MR. CHUNG: That is a good day. That doesn't
15 happen too often. We usually could kill folks with our
16 slide decks. We have four slides, two of them are maps. I
17 will try to leave a couple key messages here because this
18 is only the first of a series of visits that the Department
19 of Defense will do. We have maintained an enduring
20 relationship with the State of California and other
21 agencies over the past 10, 20 years. And we are very open
22 and we're very happy that the additional relationships that
23 are going to be built, the friendships that are going to be
24 built with the agencies in Northern California, we embrace
25 that.

1 Let me share with you real quick high level, a
2 couple points there, I hate reading through the slides, so
3 I'm just going to hit the highlights.

4 At the Department of Defense, we conduct a series
5 of operations both onshore and offshore. These operations
6 revolve around and center around two key fundamentals. We
7 train and test our forces so they are ready when the
8 country needs them, plain and simple. Whether that is our
9 people for training or whether it is our platform, weapons,
10 assets that we test, we train. So when they are called and
11 the assets are called to bear, elements of that training
12 and testing, manpower and people work right the first time
13 and every time.

14 In many instances there is no second chance.
15 We're called upon to go into hostile territories. There is
16 no second chance. So the training and testing that occurs
17 onshore and offshore are pivotal. That's message one that
18 I'd like you to just take away.

19 The other part is we always look at the art of
20 possible, what is possible. And this is where the
21 collaboration with the State and other agencies become
22 important. You always hear that a picture is worth a
23 thousand words. Well, if I were to sit here and try to
24 explain this in a slide deck with words, we would be in the
25 hundreds of pages. But what I wanted to do is just

1 highlight here to give you just a quick visual, a
2 representation of -- does this have a little wave here?
3 I'm not going to point it in my face. Okay, so --

4 COMMISSIONER DOUGLAS: Steve, those mics are
5 picking you up for our transcript, so I'm going to give
6 this to you as you wander around.

7 MR. CHUNG: See, be blessed I listen to Scott.
8 Good point.

9 So a quick illustration here. The little
10 spaghetti lines I think you see in brown, those are
11 essentially our freeways in the sky. We call those our
12 military training routes. They are no different than the
13 on-the-ground street networks that you have with our roads,
14 our highways, our system.

15 Our network in the sky for that brown has similar
16 parameters. We have speed limits on our roads. We have
17 boat elevation from the floor, how low we can go, how high
18 we can go within those corridors. The green represents our
19 special use air space or training range areas. And the
20 purple lines that you see out in the water, those are our
21 warning areas where we conduct offshore.

22 Now the takeaway on this map here is simple.
23 There is a lot of operations that are happening in six
24 southwestern states. There are operations that are
25 happening offshore. No single operation or testing that is

1 conducted is independent. If it is not, we put into a box.
2 There are operations that go from shore to land and land to
3 sea, air to land, and land to air. The connectivity of
4 that takes place between the operations for our
5 warfighters, essentially going from installations, they
6 traverse to the range areas where they conduct testing and
7 training and then they traverse to areas either onshore and
8 offshore. The connectivity and the interrelationship is
9 the takeaway I'd like you to go ahead with this vision.

10 Now obviously if there is a desire to dive down
11 into any particular area, as we have started this week with
12 our colleagues at Humboldt County, our friends at Schatz
13 Research Center, and others that we have met with this
14 week, we are very open and we will continue to keep that
15 door open to continue educating, sharing information and,
16 most importantly, continue to strive to see the art of
17 possible.

18 What I mean by the art of possible. Now here is
19 our spaghetti network. The complexities of our operation,
20 training, and testing, and I put the Is, T in the areas in
21 the south called the DRECP and just adjacent to that called
22 the San Joaquin Valley Solar Initiative. So those are two
23 very onshore, large-scale planning areas and planning
24 initiatives that the Department of Defense embarked on with
25 the State of California and a number of local agencies.

1 They also contain one of the most complex onshore
2 operational areas in the entire State of California.

3 So what do I mean by the art of possible?
4 Through those two ventures, each covering vast areas, big
5 chunks of California, in the collaboration and the
6 communication and the sustained efforts that the agencies,
7 the State, and the military took, we were able to find not
8 just little pockets we were able to collectively land on
9 enabling a number of different renewable energy
10 technologies within those planning areas.

11 Now why do I stress onshore when we're here
12 talking about an offshore context. Ladies and gentlemen,
13 it's context. Yes, in 2016, the Department of the Interior
14 through BOEM asked the Department of Defense to review and
15 assess mission compatibility for offshore floating wind
16 technology. What you see in the two color codes there, red
17 and yellow, and I know my good friend here Scott said bring
18 your 126 different colors, we're limited, we like simple
19 things, so we go with four colors typically. In this case
20 offshore, we were asked to do it with three colors -- even
21 better. Red, yellow, and green. Let me explain to you
22 what each means.

23 Red obviously bad stuff. Well, red means the
24 offshore technology is not compatible with the military
25 mission. Yellow means that we'll likely find a solution to

1 enable offshore floating wind technology. Green means
2 you're good to go. Go straight ahead.

3 So, yes, I heard it two days ago, Steve, there's
4 no green. Very good, yeah, there is no green. And let me
5 explain. We did have green areas in Northern California.
6 At one point early last year the area north predominantly
7 was green. And if you had seen that map, that was a
8 correct map at that time. However, earlier this year our
9 colleagues from NORAD, basically that's watching the entire
10 West Coast, made a comment and said, well, you know if we -
11 - we probably need some details of some of the concepts of
12 what the project and when the project would go, we're
13 pretty sure it's still going to be okay, but we need to see
14 some more detail.

15 Well, in good faith we could not keep it green
16 because we had one of our operational colleagues, and a
17 very important one, that said we need to probably see some
18 more details. So on February of this year, during one of
19 the other public engagements and collaborations that we did
20 in concert with the State and industry, the map that was
21 displayed was the map that you see here before you.

22 So I'm going to keep it short and I'm going to
23 end it with this message and it is we say what we do, we do
24 what we say. That's how you maintain relationships. This
25 will not be like The Ramones, a one-hit wonder. The

1 Department of Defense is here to stay to continue that
2 collaborative effort. We're on this journey together. We
3 think it's going to be a very good journey in Northern
4 California. And for any additional contacts and incentives
5 that we've heard, such as the Oyster Festival in June, we
6 will be back here in June.

7 (Laughter.)

8 MR. CHUNG: We also heard that crabbing season
9 starts in December, so I'm sure something will be scheduled
10 in December.

11 So with that, folks, thank you so much. And if
12 we have questions, we're more than happy to address any
13 questions that you may have.

14 COMMISSIONER DOUGLAS: All right. Thank you.

15 (Applause.)

16 MR. STALLMAN: All right. Back to me again, Jon
17 Stallman with PG&E. I will keep this extra short, and you
18 will see why here in a moment.

19 So offshore wind and at the request of our
20 friends at the Schatz lab, we have engaged in, again,
21 trying to understand what does it mean to incorporate and
22 interconnect offshore wind in this area to energy island.

23 And I think we established earlier in the day
24 some of the constraints -- if you will go to the next slide
25 -- we'll just dive right in here and I promise to keep this

1 short. So obviously upper left-hand corner of the map --
2 another map -- and you can see two transmission lines that
3 traverse from east to west. And basically one goes over
4 roughly around the Trinity's, Highway 299, and one of them
5 goes over Highway 36. Those are 115 kv transmission lines.

6 To get a little bit better landscape, those 115
7 kv transmission lines connect at Cottonwood, in the Central
8 Valley, and they connect up with the 500 kv line that goes
9 from the California-Oregon Intertie, from Oregon all the
10 way down to Vacaville area, down feeding into the Bay Area.

11 As you, you know, like track your way up the
12 Central Valley and you track your way across the 115 kv
13 lines and you enter into the Humboldt pocket, you will see
14 a line that runs up and down the 101 corridor and that's a
15 60 kv line. That's a pretty small line. It's used for --
16 basically, the 115 line moves the energy over from the
17 Central Valley, from the 500 kv over into this pocket.
18 Then the 60 kv line moves it up and down the coastline.

19 The 60 kv line is not really designed to move any
20 form of bulk energy. The 115 kv line can move a certain
21 amount of energy, but it's rather limited. It wasn't
22 really designed to necessarily export large volumes of
23 energy. So, you know, having our conversations, trying to
24 figure out how do we study this, we developed a way to
25 study it in buckets of development, to try to incrementally

1 understand if we start with a small amount what are the
2 impacts to the transmission system in order to take that
3 energy and at what point does that become stressful on the
4 system and we have to make major capital investments to
5 allow for this type of generation to exist off the coast.

6 So I just want to highlight in the first bullet
7 that's essentially the landscape that we're looking at from
8 a transmission system. PG&E's role in this case is
9 interconnection again. Understanding what the volume of
10 production is going to be, where is it going to land
11 onshore. And right now it's speculated to land at the
12 power plant, Humboldt Bay Power Plant. So there are some
13 things that come up with that interconnection point. And
14 then how we get the energy from that point over to the bulk
15 system, which is the 500 kv and how do we move that energy
16 southward where the loads are, in the Bay Area, Sacramento,
17 Central Valley, that area.

18 So when we look at that, and in talking with my
19 colleagues, and I'm not the transmission expert but I'm
20 conveying the message between all of my colleagues, that
21 the line, the 115 kv lines, that runs through a pretty
22 rugged terrain. If you ever cross over 299 and you
23 understand the Trinity Mountains through there and the
24 river basins, that's a pretty rugged terrain. That's a
25 pretty fragile system. And I think that's one reason why

1 we're having this conversation. And in order to change
2 that system to make it larger is going to be a fairly
3 costly event, but I want to emphasize that we won't know
4 that until there is an actual interconnection study applied
5 for.

6 So once that interconnection study is applied
7 for, then our organization can dive into it and really
8 start to evaluate what does it mean to move it over on the
9 115 lines, what does it mean to develop some alternatives.
10 Can we go south, down the 101, and build a whole new system
11 down to the Petaluma area? Can we go with an undersea
12 cable all along the coastline and intertie somewhere down
13 where the loads are in the Bay Area? There's lots of
14 questions to be asked there and it all comes down to
15 feasibility of interconnection and hence my question about
16 interconnection and where does that tie in with the
17 planning process and assessment process, because it's very
18 evident to us when we talk about it from an interconnection
19 standpoint that as you scale this wind system up, and at
20 whatever point that it makes financial sense for the
21 developer to install and operate that wind system, at some
22 point there is a critical export that occurs and the system
23 needs to be addressed to handle that amount of export.

24 The in-pocket loads within the Humboldt area is
25 really only -- I think somebody could correct me if I'm

1 wrong, I'm going to throw about a couple of numbers --
2 about 75 megawatts on average with a peak of around 150
3 megawatts --

4 MR. [SPEAKER]: It's about 110.

5 MR. [SPEAKER]: A hundred and ten.

6 MR. STALLMAN: A hundred and ten average, right.

7 MR. [SPEAKER]: A hundred and seventy peak.

8 MR. STALLMAN: A hundred and seventy peak, okay.

9 Thank you. Thank you.

10 So with that said, you know if we're producing
11 more than the in-pocket can absorb, then we're going to be
12 exporting. We need to take that delta of whatever is going
13 absorbed in-pocket and take what we're going to export and
14 figure out what that impact is on the system.

15 So I have mentioned the undersea cable options.
16 The formal interconnection study is what catalyzes all that
17 effort to occur. Once we get that, then we can really
18 start taking a look at the very intimate details of the
19 system, and those costs need to be incorporated into the
20 overall assessment. And that's a known process. That's a
21 unique opportunity and a unique system, so there's some
22 other things that come up with this.

23 And what's unique about it is where there's two
24 additional things that are very unique. With an offshore
25 wind system in Humboldt, where it ties into the generation

1 facility, now the way the way that that generation facility
2 gets used is actually very complementary to the wind
3 system. When the wind isn't blowing, the generation system
4 is there. When the wind is blowing, the generation system
5 is there and can be used for different purposes. We need
6 to assess that. We need to figure out what that is, what
7 are the different operational modes, what are the costs of
8 that operational mode, and those types of things need to be
9 evaluated with that generation facility. So we'll leave
10 that at that point.

11 And then I think lastly is to be observant and
12 aware, and this is out of PG&E's purview. However, the
13 degree of contracts that exist on the 500 kv, called the
14 COI or California-Oregon Intertie, and the contract
15 bandwidth of off-taking that power that's produced in this
16 area. And so if those -- that conduit, that 500 kv
17 conduit, is preoccupied by a lot of other resources from
18 Oregon and Northern California and Washington, and so if
19 we're going to bring power in at the 500 kv, we've got to
20 take a look at the contracted bandwidth and figure out how
21 we're going to make room.

22 And I think the CEC has prepared -- I read a
23 letter recently that you're prepared to take a look at that
24 and open that up to more renewable resources on that 500
25 kv. So I think some of these things are going to unfold

1 over time as we dive into it more.

2 In exploring the offshore cable option and where
3 it would enter and where it would tie in, the same
4 conversation kind of comes about. It's a different bulk
5 system that it's tying into, but you've got a contracted
6 bandwidth that's occupied by the geysers generation and a
7 couple of other generation facilities that tie into that
8 Petaluma area. So, again, we have to look into and observe
9 that contracted bandwidth. And I think the CEC is prepared
10 to do what needs to be done to really take a look at that.

11 COMMISSIONER DOUGLAS: Thank you.

12 MR. STALLMAN: So I'll leave it at that.

13 COMMISSIONER DOUGLAS: Can I have a microphone
14 back? Thank you.

15 So I just had one question. You know, I had
16 understood, and you might have said this, that really right
17 now because the electricity system here in the Humboldt
18 area is meant to be able to import some electricity but it
19 isn't really an export center particularly or at all, you
20 know would exporting some amount of electricity trigger
21 upgrades within the system at the distribution or
22 transmission level? Can you speak to that a bit?

23 MR. STALLMAN: Well, yes. In a previous study
24 that was done, and now the dynamics have changed, there's
25 been other renewable energy mixes, energy efficiency, and

1 hence a real comprehensive study would take a look at
2 forecasting those values out in time, so there is an
3 immediate impact based off from the amount of generation
4 that's done. We need to also -- and what we've written
5 into a scope of work with the Schatz team is to look at the
6 forecast of the uptake of energy efficiency and distributed
7 generation onto the distribution system that could affect
8 the in-pocket demand, which hence would increase the export
9 volume, right, so -- which is a good thing. We want to
10 have more distributed generation, and that's the beauty of
11 distributed generation. And we want to have more energy
12 efficiency, but that will increase the export volume.

13 So, yes, prior I believe there was a study done,
14 and I don't have the numbers off the top of my head, you'll
15 have to pardon me, but something on the order of 200
16 megawatts was evaluated to be exported. And that
17 evaluation was -- triggered a number of capital projects
18 and that's everything from conductor sizes to voltages and
19 maybe changing the voltages on certain lines to raise the
20 voltage to be able to get more capacity out.

21 There is -- mostly, if I'm running my head
22 through the article, the report, is it was thermal
23 overloads on a number of different devices. And those
24 thermal overloads would all need to be upgraded in order to
25 handle any kind of export volume. I think there is a

1 little bit of export bandwidth, but it's relatively small.

2 COMMISSIONER DOUGLAS: All right. Great. Thank
3 you.

4 Well, we are onto our last panels. Thank you.

5 (Applause.)

6 COMMISSIONER DOUGLAS: All right. Richard Engel,
7 RCEA.

8 MR. ENGEL: Thank you. Thank you, Commissioners
9 and CEC staff for making the trek here to talk with us.
10 I'm Richard Engel, Director of Power Resources at Redwood
11 Coast Energy Authority. The great thing about being the
12 last speaker is I get to cut out probably half of my
13 material because it's already been covered in some form or
14 other.

15 So you heard from Dana, my colleague at RCEA
16 early this morning, giving some background on our
17 organization. Thanks, Dana. And then the panels that just
18 spoke talked about offshore wind. I'm going to tie those
19 two topics together. Can I get the clicker, please?
20 Thanks.

21 So I'm going to frame RCEA as being kind of a key
22 stakeholder locally for making offshore wind happen. So I
23 want to talk a little bit more about RCEA and our Community
24 Choice Energy Program just briefly, because Dana already
25 did a good job with that. I want to talk about why

1 offshore wind should be happening in Humboldt and why RCEA
2 is an interested stakeholder in that. I want to talk about
3 the partnership that we've been developing to make this
4 happen, and just kind of review the time line for what's
5 happened so far.

6 So when I talk to folks from other CCAs, I was
7 just actually down in Oakland yesterday meeting with folks
8 at East Bay Community Energy and several other CCAs, as we
9 periodically have meetings to talk about a power
10 procurement, and that was our group meeting yesterday,
11 we're different from most of those other CCAs in that we're
12 a pre-existing organization, as Dana explained. We've been
13 around since 2003. To this day we continue to, by a slight
14 majority, dedicate most of our resources to things other
15 than CCA. In terms of staffing, I think it's a little bit
16 less than half of our full-time equivalent staff that works
17 on the CCA program.

18 We have the Energy Efficiency Programs, including
19 the Energy Watch Partnership with PG&E that's been around
20 for many years. And then Dana oversees our Clean
21 Transportation Program. So we've got a lot else going on
22 besides the CCA.

23 To dive down into the CCA a bit, we're serving
24 the whole county. We launched with most of the county
25 onboard. Ferndale was a little bit slower than the rest of

1 the communities to get through the final steps of joining,
2 but we rolled them into the program a few months after
3 launch in January of this year. So we now have everybody
4 in Humboldt County is eligible to be in our program. We
5 have 62,000 customer accounts, which is 93 percent of
6 Humboldt County participating in our program. In terms of
7 -- if you sift that down to unique customers, it's about
8 55,000 unique customers. A lot of the commercial customers
9 of course have multiple accounts.

10 We have about 130 megawatts of peak demand that
11 we serve, about 700 gigawatt hours a year delivered. We
12 have set our generation rates to be three percent below
13 PG&E's. That was actually just in March when PG&E raised
14 their generation rates for bundled customers, we also
15 raised our rates but actually slightly increased the
16 increment by which we're below PG&E rates, which we see as
17 a necessary viability of our program because CCA programs
18 by their nature allow customers to always have that option
19 to not participate and go back to bundled service.

20 We're offering a 40-percent power -- a 40-percent
21 renewable power mix to our customers, but people can opt up
22 to a hundred percent renewable program. And currently
23 we're getting -- just for this year we'll be getting just
24 under one-fourth of our total portfolio from the local
25 biomass power, which has allowed us to keep two of Humboldt

1 County's three biomass power plants online. We started
2 almost from the beginning of our program with the Scotia
3 Power Plant and we're just as of May 1st going to be
4 bringing the DG Fairhaven Plant online as another
5 generator.

6 This is the overall map of the country. You've
7 already seen plenty of maps today. The point here is just
8 that one of the key reasons for Humboldt County looking at
9 offshore wind is that we are one of the windiest places
10 along the North American Coastline, but it's not just the
11 wind resource. And this is the old version and the map
12 before the NORAD got ahold of this, so we can dream about
13 when the whole Coast was still all green, but anyway, so
14 like Steve tells it, this shouldn't take too much wind out
15 of our sales now that the yellow color is back. So this is
16 not surprisingly brought a lot of the developers to come
17 talk to us here in the North Coast.

18 And then the harbor facilities are an important
19 part of this too. It's become clear that the combination
20 that we have of having one of the few deep-water ports on
21 the California coast and having a lot of vacant industrial
22 land from kind of the legacy of the decline of the timber
23 industry and the closing of the pulp mills and all that has
24 created an untapped resource there of land that could be
25 used for the onshore facilities that are needed to support

1 deployment of offshore wind.

2 And also another interesting point is that we
3 don't have any bridges between the onshore docking areas
4 and the open water. And most of the wind technologies
5 would be significantly hampered if there was a bridge in
6 the way that they had to get stuff under, so that's one
7 less obstacle that we have locally to offshore wind and all
8 this is brought up.

9 So why is RCEA taking an interest in this? Well,
10 one of our underlying principles is bringing local control
11 over our local energy resources. And we see the
12 opportunity to do that by getting involved as an active
13 stakeholder in the offshore wind development on behalf of
14 the whole county.

15 You know our board of directors consists of
16 elected officials from all of the seven incorporated
17 cities, the county, and also the Humboldt Bay Water
18 District, so we're really representing the will of the
19 people through our board of directors.

20 Also this is an RPS resource that potentially
21 helps address the duck curve on a regional and state level.
22 The fundamental principle of grid management is having
23 supply and demand match each other, not having conflicts
24 there. And, when you look at the shape of the duck curve,
25 this is admittedly an old forward-looking version of the

1 graph from 2013, so I really should have a contemporary
2 picture to show you what it really looks like, but you get
3 the idea, the belly of the duck has gotten lower and lower
4 as more intermittent energy has come online. And the shape
5 of the wind resources in the lower right, this is from the
6 NREL-BOEM study that looked at modeled data for several
7 locations up and down the California coast. And the two
8 upper most curves here, the blue one and the orange one,
9 are off of Humboldt Bay and off of Crescent City,
10 respectfully, so those are like the flattest curves of all
11 these curves that are based on different places up and down
12 the California coast. And you see that it peaks in the
13 evening, which coincides nicely with reducing that ramping
14 need that's implied in the duck curve for bringing
15 otherwise lots of thermal generation online really quickly,
16 as is the situation we're currently in.

17 There's also the port revitalization and local
18 job creation, which tie in really nicely with some of our -
19 - the priorities of the local elected officials that make
20 up our board of directors and give us our direction for
21 what we did.

22 So we have -- we put out a solicitation at the
23 beginning of February, looking for a public-private
24 partnership to help move all of this forward with RCEA as
25 part of that partnership. We were looking for developers

1 with capabilities in three areas, one of those being
2 technical studies, being able to help with preparing the
3 site assessment plan and the construction and operations
4 plan that we heard about earlier from Necy.

5 We're also looking for somebody with the
6 technology that could be deployed for floating wind farms
7 and project design. And we're also looking for somebody
8 with all the juice that it takes to make this project
9 happen, so financing it and being able to do construction
10 and operation and eventual decommissioning.

11 And so we framed the project in our solicitation
12 as being a public-private partnership, looking for a
13 project in the 100- to 150-megawatt range. This is far
14 more than RCEA ourselves would be interested in procuring
15 probably, so we would probably be looking for a project
16 that would involve other off-takers, but our communications
17 with developers led us to understand that probably a
18 minimum project size of this scale would be necessary to
19 make the project financially viable from a developer's
20 standpoint.

21 We're looking at depths up to 900 meters, so
22 that's why this is certainly going to be floating
23 technology that gets developed, and we're hoping for a time
24 line of 5 to 7 years to get it up and running.

25 We got 6 responses out of 26 interested companies

1 that we sent it out to. And we put together a review team
2 that really represented a broad range of stakeholders here
3 in Humboldt County, so RCEA staff, including myself,
4 reviewed it. We got PG&E; we have like local labor unions;
5 commercial fishing; local governments; nonprofits including
6 environmental groups to participate; the Harbor District;
7 and energy consultants; and we did have a participant from
8 Sonoma Clean Power, our sister agency down south, they're
9 very interested in potentially being an off-taker which
10 could help drive this project forward too.

11 In terms of time line, we -- before we did the
12 solicitation we had actually entered into a nonbinding
13 memorandum of understanding with Principle Power. That was
14 the first company that had come forward and approached us
15 and it looked like they had a lot of the capabilities
16 needed to make a project like this happen and one of the
17 very few companies that have actually developed and
18 deployed a floating offshore technology at megawatts scale.
19 So we started this MOU with them just to kind of get the
20 process going of exploring the project in partnership with
21 somebody that had the knowledge and the capacity to help
22 make the project happen.

23 We've been holding a series of stakeholder
24 forums. Nancy Stevenson, in the back of the room, is our
25 Community Strategies Manager, has been providing that

1 process. We issued a solicitation in February, got our
2 responses in March. Our board approved the selection of
3 Principle Power Incorporated and the team that they have
4 put together as our preferred private partner to develop
5 the -- to develop an agreement with for collaboration. And
6 then just this week our partners, our putative partners, we
7 don't really have an agreement in place yet, that's to be
8 negotiated still, but they submitted a CAISO
9 interconnection study on Monday and on the same day our
10 board approved us chipping in one-fourth of the cost of
11 that so that we've got some real skin in the game on this.
12 The next thing that's going to come up will be our leased
13 application.

14 So, again, thank you very much, Commissioners and
15 staff, for coming to hear about this.

16 (Applause.)

17 COMMISSIONER DOUGLAS: Well, thank you very much
18 for being here. I think given the time and the number of
19 people in the room, we're going to go straight into public
20 comment, but we want to thank the panel again for being
21 here.

22 (Applause.)

23 COMMISSIONER DOUGLAS: So we'll have a microphone
24 for folks who would like to make a public comment.

25 And do we have a sign-in list, Heather?

1 All right. Alana, you have the cards?

2 So the Public Adviser has some cards if you'd
3 like to make a comment. So come on in the back and fill in
4 a card if you'd like to make a comment. They will be
5 brought to me, and you can use this microphone right here.

6 So, Frankie, if you want to come on forward. I
7 can't read your last name.

8 MR. MYERS: So my question is do -- or my comment
9 is our --

10 COMMISSIONER HOCHSCHILD: Could you identify
11 yourself, please?

12 COMMISSIONER DOUGLAS: Just for the record.

13 MR. MYERS: Frankie Myers, Yurok Tribe, Heritage
14 Officer for the Regional Officer.

15 I heard a lot of disturbing facts today. One of
16 them that I think is the most concerning of all the maps
17 I've seen is the map showing the green area, the go ahead
18 that encompasses the entire Yurok territory. And having
19 had no consultation for the creation of that map and
20 whether we are going to be okay with it or not, that is
21 very concerning to me that all of my ocean is up for wind
22 energy without ever having been asked whether that was
23 something that's appropriate for the Tribe and for the
24 culture.

25 I'm glad the military stepped in and at least put

1 a yellow color on it now so that we have some sort of
2 consultation.

3 My other concern I have is with RCEA. Numerous
4 times it was mentioned that local governments are included
5 and all of Humboldt County is included, however, given the
6 Yurok Tribe is the largest tribe in California with a
7 membership of 6,500 members and estimated descendency of
8 12,000 members, which would make the Yurok Tribe the third
9 largest incorporated city in Humboldt County, why tribes
10 and tribal governments are not listed and included as local
11 governments? Given our extremely long history here in
12 Humboldt County, the work that was highlighted by our
13 planning director that we're doing for electrification, I
14 don't understand the discrimination towards tribal
15 governments in this process since it does have a huge,
16 could potentially have a huge detrimental effect on our
17 cultural landscape.

18 The idea of ten windmills on our coast is
19 concerning. The presentation given from PG&E, looking at
20 exporting energy means there would be a considerable more
21 amount than ten proposed within our aboriginal territory,
22 of which we've never ceded rights to. And today for the
23 first time that we have heard a presentation from RCEA is
24 very, very concerning to the Tribe. We'll be sending out
25 an official letter requesting a government-to-government to

1 follow up, but the Yurok Tribe is very concerned about what
2 has taken place so far without any prior consent or
3 consultation. Even a postcard would have been nice.

4 COMMISSIONER DOUGLAS: Frankie, thanks. Thanks
5 for being here. And as you know, because we have
6 discussed, the state and the federal governments both have
7 consultation obligations to tribal governments, and so --
8 we have so far we have only had informal conversation, but
9 consultation definitely is something that follows that, so
10 we'll be happy to talk to you, the federal government as
11 well.

12 And, you know, I don't know how tribal
13 governments and community choice aggregators work together,
14 can work together in terms of membership. It's -- or other
15 relationships. It may be a conversation worth having. But
16 I just want to express appreciation for you and the Yurok
17 Tribe being here today and the meeting yesterday, as well
18 and the discussion before that.

19 MR. MYERS: Absolutely and we appreciate that.
20 We want to be good neighbors and good community members and
21 would like to be afforded the same kind of respect coming
22 from whatever it was would be a good organization.

23 COMMISSIONER DOUGLAS: Um-hum. Thank you.

24 I've got Jim Lanard with Magellan Wind and
25 Copenhagen Infrastructure Partners, and invite others in

1 the audience to fill out blue cards.

2 MR. LANARD: Hi, Commissioners. Jim Lanard with
3 Magellan Wind and Copenhagen Construction Partners. Thanks
4 very much for hosting this today and coming up to the North
5 Coast. We're glad to be here as guests ourselves.

6 What I'm not going to talk about but are probably
7 more important than anything would be how offshore wind
8 interacts with community, community relationships,
9 environmental protection, the fisheries community, the
10 tribal community, and the military, the Department of
11 Defense. I'm leaving that off just in the interests of
12 time.

13 I want to talk about technology readiness and I
14 want to talk about competition for the time that I have
15 here.

16 On technology readiness we're talking about
17 floating offshore wind technologies. Right now 11
18 different technologies have been deployed worldwide and 27
19 different foundation -- or foundations are going to be
20 deployed with seven new designs over the next few years, so
21 there is a lot going on in the floating world and we're
22 going to be seeing costs coming down significantly.

23 Humboldt has great winds. We've heard that
24 today. We've heard that there's great transmission
25 capacity constraints as well, but -- so the way that we're

1 going to have to get this industry deployed has to do with
2 getting the price down so it could be competitive with
3 solar, with land-based wind, and other energy sources that
4 California has access to. So for both the North Coast and
5 for the Central Coast of California, the Magellan CIP Team
6 strongly proposes that there be competition. And for there
7 to be competition among developers, that would mean
8 multiple wind energy areas in each of those regions of the
9 state. And as New Jersey did, the developers proposed and
10 the state supported that no developer could win more than
11 one lease in one region, so that you have now multiple
12 developers directly competing against each other. That
13 results in the only way to ensure that you get the lowest
14 price of power. I'll give you a great example.

15 In Maryland there were two leases, one by one
16 company and they put in a bid for \$176 per megawatt hour.
17 Unknown to that company, another developer in Delaware was
18 using lease to bid into the Maryland proposal and put in a
19 bid for \$134 a megawatt hour. The public utility
20 commission in Maryland -- and the Maryland developer sued
21 to try to keep out the Delaware competitor. They lost
22 that. And then the public service commission worked
23 through their analysis and said that the real price is \$131
24 and then asked both companies, would they accept that. So
25 the bid at \$176 came down to \$131 simply because there was

1 competition. Without competition there is no way to know
2 whether an off-taker is getting the best price possible.

3 Massachusetts has three leases going right now
4 with competitors going against each other. New Jersey has
5 multiple leases with multiple winners competing against
6 each other and New York is now going for that as well. So
7 we think that in order for this industry to be stood up in
8 California, we've got to show you, the Commission, and the
9 Public Utility Commission that price is competitive. To do
10 that we need to compete against each other. Thank you.

11 (Phone ringing.)

12 MR. LANARD: Hello, hello.

13 COMMISSIONER DOUGLAS: Thank you, Jim.

14 Do we have other -- I don't have any other blue
15 cards, but do we have others who would like to speak?

16 Jim? Oh, you're just coming up.

17 MR. ZOELLICK: I was just shifting in my seat.

18 COMMISSIONER DOUGLAS: You were just sitting,
19 okay. Great.

20 Do we have other cards or other speakers who
21 would like to come forward?

22 Would anyone else who hasn't filled out a card
23 like to come forward and say a few words?

24 All right. Well, it looks like we'll step into
25 some closing comments then.

1 Do you want to start, or Christina?

2 MS. SNIDER: I don't have any.

3 COMMISSIONER DOUGLAS: Okay.

4 COMMISSIONER HOCHSCHILD: No. I just want to say
5 thank you. I really appreciate the hearing, all the
6 perspectives here this morning. And this is -- the whole
7 purpose here is to really listen and understand what the
8 issues are and the concerns.

9 And I will just say you don't have to be a big
10 county or a big city to make a big difference. And what I
11 have seen happen across the state and across the country is
12 models -- as we work to build a clean energy future, models
13 that get pioneered often in very small, rural communities
14 become templates for states and can spread. And that's
15 really what I'm always looking for is best practices and I
16 just was very impressed by some of the thinking that I have
17 seen here. And I just want to really want to encourage all
18 of you to stay engaged and we will definitely be looking
19 forward to continuing the conversation.

20 I especially want to thank my friend and
21 colleague Commissioner Karen Douglas for setting this all
22 up and doing the outreach as well.

23 COMMISSIONER DOUGLAS: I want to say some of our
24 team has been here for the last two days as well as today
25 and so we've had a chance to meet and talk to a lot of

1 people and hear a lot of different perspectives, even
2 beyond what we've heard today.

3 I want to thank the people of this region for
4 your time, your hospitality, your interest in engaging with
5 us and your willingness to share your viewpoints, your
6 perspective, your work, your ideas. It's definitely we've
7 learned a lot from being here. Definitely appreciate it
8 and look forward to continuing to work together in the
9 future. So thank you and, with that, our IEPR Workshop is
10 adjourned.

11 (Applause. Workshop adjourned at 4:00 o'clock p.m.)

12

13

14

15

16

17

18

19

20

21

22

23

24


25

REPORTER' S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 28th day of May, 2018.



PETER PETTY
CER**D-493
Notary Public

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 28th day of May, 2018.



Kelly Farrell
Certified Transcriber
AAERT No. CET**D-772