

**DOCKETED**

<b>Docket Number:</b>	18-IEPR-07
<b>Project Title:</b>	Doubling Energy Efficiency Savings
<b>TN #:</b>	224267
<b>Document Title:</b>	Transcript of the 06072018 IEPR Commissioner Workshop on Doubling Energy Efficiency Savings
<b>Description:</b>	N/A
<b>Filer:</b>	Cody Goldthrite
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	7/24/2018 9:01:59 AM
<b>Docketed Date:</b>	7/24/2018

CALIFORNIA ENERGY COMMISSION

In the Matter of:

Doubling Energy Efficiency    )  
  )  
Savings                            )  
-----

2018 IEPR COMMISSIONER WORKSHOP

CALIFORNIA ENERGY COMMISSION

1516 NINTH STREET

FIRST FLOOR, ART ROSENFELD HEARING ROOM

SACRAMENTO, CALIFORNIA

THURSDAY, JUNE 7, 2018

10:00 A.M.

Reported by:  
Gigi Lastra

APPEARANCES

COMMISSIONERS

David Hochschild, California Energy Commission

Andrew McAllister, California Energy Commission

Michael Murza, California Energy Commission,  
Advisor to Chair Robert Weisenmiller

ENERGY COMMISSION STAFF

Heather Raitt, IEPR Project Manager

PRESENTERS

Topic 1: Combining Existing Buildings Energy  
Efficiency (EBEE) Action Plan and Doubling  
Energy Efficiency by 2030 reports

Michael Kenney, California Energy Commission

Topic 2: SB 350 Doubling Energy Efficiency  
Savings Programs - IOUs and POUs

Anne Fisher, Moderator, California Energy Commission

Cynthia Rogers, Moderator, California Energy  
Commission

Alison LaBonte, California Public Utilities  
Commission

David Jacot, Los Angeles Department of  
Water and Power

Michael Callahan, Marin Clean Energy

Halley Fitzpatrick, Pacific Gas and Electric

Athena Besa, San Diego Gas and Electric

Ryan Bullard, Southern California Edison

Erin Brooks, Southern California Gas Company

Topic 3: Behavior and Market Transformation

Nicholas Janusch, Moderator, California Energy  
Commission

Sam Borgeson (via WebEx), Convergence Data Analytics

## APPEARANCES

### Topic 4: Industrial and Agricultural Efficiency Savings

Manjit Ahuja, Moderator, California Energy Commission  
Colleen Breitenstein, Pacific Gas and Electric  
Athena Besa, San Diego Gas and Electric  
Erin Brooks, Southern California Gas Company  
Don Kazama, California Energy Commission

### Topic 5: Conservation Voltage Reduction (CVR) Technology

Laith Younis, California Energy Commission  
Michelle Nall, Glendale Water and Power  
Bryan Pham, Southern California Edison  
Russ Griffith, Pacific Gas and Electric

### Topic 6: Account for GHG Savings from Efficiency Programs

Shucheng Liu, California Independent System Operator  
Angela Tanghetti, California Energy Commission  
Gavin McCormick, Watt Time

## PUBLIC COMMENT

Chris Walker, California Association of Sheet Metal and Air Conditioning Contractors

Monit Chabra

Brett Barrow, National Electrical Contractors Association

Randy Young, Joint Commission Environmental Energy Policy

Dion Abril, Western State Council of Sheet Metal Workers

Barbara Hernesman, Western HVAC Performance Alliance

Mark Hall, Local Clean Energy Alliance

Todd O'Connor, Clear Result

Valerie Winn, Pacific Gas and Electric Company

AGENDA

	<u>Page</u>
Introductions	5
Opening Remarks	6
Topic 1: Combining Existing Buildings Energy Efficiency (EBEE) Action Plan and Doubling Energy Efficiency by 2030 reports	13
Topic 2: SB 350 Doubling Energy Efficiency Savings Programs - IOUs and POU's	19
Topic 3: Behavior and Market Transformation	111
Topic 4: Industrial and Agricultural Efficiency Savings	142
Topic 5: Conservation Voltage Reduction (CVR) Technology	185
Topic 6: Account for GHG Savings from Efficiency Programs	222
Public Comments	249
Closing Remarks	268
Adjourn	270

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

P R O C E E D I N G S

9:59 A.M.

SACRAMENTO, CALIFORNIA, THURSDAY, JUNE 7, 2018

MS. RAITT: Good morning everybody.

Welcome to today's IEPR Commissioner Workshop on Doubling Energy Efficiency Savings. I'm Heather Raitt, the IEPR Program Manager.

The usually housekeeping items. If there's an emergency, please follow Staff out the side doors into Roosevelt park, which is across the street diagonally from the building.

Today's workshop is being broadcast through our WebEx conferencing system -- (coughs) excuse me -- and is being recorded. And we'll also -- so we'll have an audio recording posted in about a week, and a written transcript in about a month.

We do have a very full agenda today, so I'd like to remind our speakers to stay within your allotted time limits, and we'll be giving you little signs when you have a two-minute warning.

And at the end of the day, we will have an opportunity for public comments, but we'll hold that until the end of the day because our

1 agenda is so full. And there will be an  
2 opportunity for three minutes per person. And  
3 when that time comes, if folks in the room could  
4 come to the podium in the middle of the room  
5 there and identify yourself for the court  
6 reporter.

7           And also for our panelists, just a  
8 reminder, as you're speaking today, if you could  
9 remind everybody, for the folks on WebEx, your  
10 names, so that folks on WebEx can follow along.

11           Meeting materials today are available at  
12 the entrance to the hearing room, and also posted  
13 on our website. And public comments, written  
14 comments, are due on June 21st. And we certainly  
15 welcome written comments on today's topic.

16           And with that, I'll turn it over to the  
17 Commissioners for opening remarks. Thank you.

18           COMMISSIONER HOCHSCHILD: Good morning  
19 everyone. David Hochschild. Thank you for being  
20 here. And thanks to Staff for organizing, and  
21 all the stakeholders for participating in this  
22 important discussion this morning.

23           The energy efficiency is at the top of  
24 the loading order for the state for a reason.  
25 The most important megawatts are the ones that we

1 don't use. And we're pushing the envelope in the  
2 United States on this policy. The Governor, when  
3 he worked with the legislature to establish this  
4 goal of doubling energy efficiency savings is  
5 really setting the state on a course to be a  
6 global leader on this.

7           And I want to point out, we are having,  
8 in September, the Global Climate Action Summit.  
9 Over 3,000 credentialed guests from around the  
10 world are coming to engage on climate policy. As  
11 part of that, we are releasing Volume 1 of the  
12 IEPR, which is just telling the success stories  
13 of clean energy, efficiency, clean  
14 transportation. That just has been put out for  
15 public comment. The comments are due on that on  
16 Friday --

17           MS. RAITT: The 12th.

18           COMMISSIONER HOCHSCHILD: -- the 12th.

19           MS. RAITT: Yes.

20           COMMISSIONER HOCHSCHILD: So for folks  
21 who haven't had a chance to look at that, we  
22 welcome your feedback. The goal is to get that  
23 document done in time for the Climate Summit and  
24 tell the energy policy success story as best we  
25 can.



1           I want to introduce Commissioner Andrew  
2 McAllister and just to reiterate my gratitude for  
3 Commissioner McAllister's incredible leadership  
4 on this issue. Over the whole five-and-a-half  
5 years I've had the opportunity to work with him,  
6 he has been passionate and focused and relentless  
7 and successful. And what we did last month with  
8 the new code, including the solar mandate on  
9 Title 24 had reverberations all over the country.  
10 So I'm really, really glad to have Commissioner  
11 McAllister here at the Commission and here,  
12 leading this discussion today.

13           COMMISSIONER MCALLISTER: All right.  
14 Thanks, Commissioner Hochschild.

15           We have a packed agenda, and I  
16 certainly -- my brand is that I tend to sort of  
17 talk maybe a little too much, but -- so I'll try,  
18 you know, bite my tongue and mitigate that a  
19 little bit.

20           But I want to -- so Commissioner  
21 Hochschild is absolutely right, I am passionate  
22 about energy efficiency. And I think partly my  
23 task along the way here with energy efficiency  
24 and other topics, you know, but it's really to  
25 keep it real, okay? In order to get where we

1 need to go a lot of projects have to take place.  
2 They have to take place on the ground in real  
3 buildings, actual people, contractors, you know,  
4 professionals, designers, building owners, they  
5 all, you know, they all have to be aligned and  
6 they all have to actually do things. They have  
7 to get up in the morning and go do this work;  
8 right?

9           And so we need to structure our policies  
10 and we need to inform ourselves as, you know,  
11 advisors to the legislature, as policy  
12 implementers to get out of the way where we're  
13 not the best and, you know, highest sort of --  
14 where we're not really needed in a particular,  
15 you know, link in that chain.

16           But more importantly, even, I would say,  
17 is get the policies right so that the incentives  
18 are there, so that people up and down, you know,  
19 the supply chain and the implementation chain can  
20 actually do the work that needs to be done. And  
21 so we want to promote that, incentivize that and  
22 get our policies all aligned. And that's not  
23 just in this discussion today, but a lot of the  
24 themes that we need to work through are on the  
25 agenda today.

1           So, you know, energy efficiency is  
2 changing. It is not just about saving kilowatt  
3 hours and therms any old time in any old way. We  
4 have a distribution grid. We have a transmission  
5 grid. We have a whole energy system that is, you  
6 know, becoming as, you know, I think the -- maybe  
7 it's really cliché, but it really needs to be  
8 more like an orchestra with many, many, really,  
9 literally millions of instruments playing in  
10 harmony.

11           And so as the demand side really surges  
12 in importance, as the distribution and grid  
13 itself becomes a focus of policy and action and  
14 investment, energy efficiency and its close  
15 corollary, demand response, and all the  
16 technology that we can bring to bear today in  
17 2018 and beyond going forward on both of those  
18 topics, and over time, they're really becoming  
19 one topic, is really important. I mean, I think  
20 we can lead here in California. We are leading.

21           Referring to the Climate Action Summit,  
22 we are actually aiming -- so, you know, the sort  
23 of touting of California's success I think is,  
24 you know, one aspect and it's certainly a great  
25 leverage point for that. It's also a leverage

1 point to kind of redefine some metrics. We're  
2 going to have the world looking at us in  
3 September. And this idea that the shift, really,  
4 that's needed from an energy -- a set of energy  
5 metrics, it's really a set of emissions metrics,  
6 is something that we're working towards really  
7 kind of going big with on in September.

8           And this goes along with the emphasis on  
9 distribution networks. You know, if we're really  
10 focused on carbon, the when of generation, the  
11 when of us really matters, really more than the  
12 where, even. And so I think the, you know, how  
13 we do energy efficiency really has a time element  
14 to it that's relatively new. And we've got to  
15 sort of modernize the way we think about this and  
16 the metrics we use.

17           So that's a little bit of a heads-up.  
18 And I think the conversation of how buildings  
19 consume and how generation happens, whether it's  
20 at the building level or some larger scale,  
21 really is going to, you know, incorporate really  
22 centrally now a temporal element. The when  
23 really matters. So that way we can balance our  
24 supply and our demand, and that's the optimal  
25 course in terms of cost-effective ways of

1 developing and operating our systems.

2           So anyway, we'll get into some of these  
3 topics through the course of the day. I want to  
4 thank everyone for being here and certainly look  
5 forward to all the comments and the questions and  
6 the written comments. I hope everybody is moved  
7 by the discussion today to submit written  
8 comments, as well, and really develop the record.  
9 We need solutions. Doubling energy efficiency is  
10 not easy. I think we all can acknowledge that.  
11 But we have an innovation culture and we can  
12 develop those solutions and, when we can,  
13 highlight the policy changes that need to take  
14 place to really align the incentive that I said.

15           So anyway, high hopes for today. And  
16 thanks again for everybody being here. And I'm  
17 looking forward to the conversation.

18           We have Mike Murza from Chair  
19 Weisenmiller's Office, and I'll pass the mike to  
20 him.

21           MR. MURZA: Thank you, Commissioner  
22 McAllister. I'll be brief so we can get started.

23           On behalf of the Chair, I'd like to thank  
24 Staff for all of their hard work in getting us to  
25 where we so far, and thanking the members of the

1 public for everything they've done to get us  
2 where we are, as well.

3           As Commissioner McAllister noted, we've  
4 been a leader in energy efficiency for decades.  
5 And so doubling that is going to be a pretty  
6 heavy lift, and so it's really going to take a  
7 collaborative effort from all the different  
8 stakeholders and actors. And so we really  
9 appreciate you taking your time here to bring  
10 your expertise to the table.

11           So with that, I'm looking forward to the  
12 progress we make today.

13           MS. RAITT: Great. So our first speaker  
14 is Michael Kenney from the Energy Commission.

15           (Off mike colloquy)

16           MR. KENNEY: Good morning. I'm Michael  
17 Kenney from the Efficiency Division here in the  
18 Existing Buildings Office. So today, I'm here to  
19 talk to you about our new Action Plan, which is  
20 going to bring together all the disparate Energy  
21 Efficiency Plans we have floating through the  
22 Energy Commission, so it's called the Statewide  
23 Energy Efficiency Savings Action Plan.

24           So a little bit of background about what  
25 are we actually combining through this report?

1           So in 2015, we released our Existing  
2 Buildings Energy Efficiency Action Plan, and in  
3 2016 the update. These were reports that were  
4 mandated under AB 758. And those documents acted  
5 as a ten-year roadmap to what we were hoping to  
6 accomplish through energy efficiency within  
7 existing buildings. And that report is due to be  
8 updated in 2019.

9           More recently, we had Senate Bill 350  
10 which mandated us to set targets to achieve the  
11 accumulative doubling of energy efficiency, which  
12 is why we're all here today. And we released  
13 that initial report last fall, the Senate Bill  
14 350 Doubling Energy Efficiency by 2030 Report.  
15 And that report is also scheduled to be updated  
16 next year.

17           And so the goal is, since these two  
18 efforts have a significant amount of overlap,  
19 both dealing with advancing energy efficiency  
20 across the state, to combine these efforts. And  
21 we're also looking to combine the energy  
22 efficiency components from our Low-Income Barrier  
23 Study, as well as, for those of you who were here  
24 at our last week IEPR, the Clean Energy Low-  
25 Income Multifamily Buildings Action Plan which is

1 focused on the multifamily sector. So all these  
2 reports, as I said, are working towards the same  
3 goal.

4           So these reports, we would expect to  
5 update -- or this combined report, we would  
6 expect to update biannually, and in off years be  
7 reporting through the IEPR any key updates. And  
8 the quantification component of energy savings  
9 that we have in SB 350, we would be carrying on  
10 through this new combined report. And where that  
11 fits in, I'll get into.

12           So the structure of this new report would  
13 be very similar to our 2015 Existing Buildings  
14 Action Plan. So we'll have our, you know,  
15 introduction, kind of vision and framework of the  
16 plan, we'll be hitting on the regulatory and  
17 policy updates that have occurred recently and  
18 that, you know, we're looking to move forward  
19 with, and then our goals. And so these are the  
20 energy efficiency goals that we're kind of  
21 setting for ourselves to reach 2030 doubling, as  
22 well as tackling the multiple barriers that exist  
23 across, you know, different sectors with relation  
24 to energy efficiency. And then the fourth  
25 chapter would be implementation, so for the



1 entities that are going to be getting us down the  
2 road, and what sort of timeline do we expect  
3 these things to happen on.

4           So the specific goals are also similar to  
5 the 2015 Action Plan.

6           So our first goal is the government  
7 leadership in energy efficiency. So we're  
8 looking at what are government entities doing to  
9 move the ball forward on energy efficiency? What  
10 programs are they operating within that? Can we  
11 quantify the savings attributed to those  
12 programs? What policies or missions are also  
13 ongoing that are going to help us get to our  
14 goals?

15           Our second goal would be data-driven  
16 decision making, so this is a discussion on the  
17 importance of energy data to improving our energy  
18 efficiency programs and to making sure that  
19 people who need to have access to energy data are  
20 able to get it to the perfect granularity for  
21 them to make the decisions they need to make.

22           Our third goal, so increased innovation  
23 and performance, this is keyed in on utilities  
24 and more largely, non-government programs. So  
25 what is happening across utility companies,

1 community choice aggregators, regional energy  
2 networks? What sort of energy efficiency program  
3 initiatives are they putting forward? And what  
4 are the quantified savings we can attribute to  
5 those? And what are they going to be doing in  
6 the future to help us get to the doubling of  
7 energy efficiency?

8           Our fourth goal would be recognized value  
9 of energy efficiency upgrades, so trying to  
10 properly value energy efficiency in the  
11 marketplace. It's looking at programs that are  
12 rating or assessing energy efficiency measures,  
13 trying to make sure that energy efficiency is on  
14 equal footing with other components in the  
15 marketplace.

16           And our fifth goal would be affordable  
17 and accessible energy efficiency solutions, so  
18 this is focused in on energy efficiency  
19 financing. So how do we increase the capital  
20 available in the energy efficiency market across  
21 sectors? What are the barriers that people are  
22 facing to performing energy efficiency upgrades,  
23 or just in general, not being able to maybe go as  
24 far as they would want to go? And so what are  
25 the possibilities there and how can we quantify

1 the savings attributed to that, that will help us  
2 reach our goal?

3           So what I'm looking for, for feedback  
4 from stakeholders today, we're planning to  
5 release an early draft of this Action Plan in  
6 early 2019 and kind of take it on the road, so to  
7 do a series of workshops across the state to  
8 engage the stakeholders and get additional  
9 feedback as we prepare this Action Plan. So what  
10 we'd like to hear from you, you know, to submit  
11 your ideas to the docket, you know, where should  
12 we go and who should be participating?

13           Additionally, we've posted a draft  
14 outline of this plan to the docket. So if people  
15 could go and review this and just let us know,  
16 are we omitting anything? Are there any critical  
17 components that we've overlooked as we go out and  
18 start to prepare this Action Plan?

19           So, you know, we're really trying to get  
20 out in front of this as we have, you know, these  
21 major goals to hit. And we'd like to be as  
22 holistic as we can in this approach for the plan  
23 since energy efficiency isn't going to just  
24 happen on its own.

25           So please submit your ideas to the

1 docket, and we'll save questions for the end of  
2 the workshop.

3 Thank you.

4 MS. RAITT: Thank you, Michael.

5 So next, we have a panel. And it's going  
6 to be moderated by Anne Fisher and Cynthia  
7 Rogers. Also, Anne Fisher has a presentation.

8 (Off mike colloquy)

9 MS. FISHER: Good morning. My name is  
10 Anne Fisher with the Energy Assessments Division.  
11 Today's Topic 2, SB 350 Doubling Energy  
12 Efficiency Savings Program section will feature  
13 speakers from the California Public Utilities  
14 Commission, four IOUS, Los Angeles Department of  
15 Water and Power, and Marin Clean Energy.

16 The doubling of energy efficiency goals  
17 is not possible without working together with  
18 stakeholders across this state to share ideas,  
19 set goals and spark innovation. Today our  
20 speakers will be sharing their experiences on  
21 topics such as the Energy Efficiency Business  
22 Plans, which were adopted last week by the CPUC,  
23 the role of behavioral programs and energy  
24 efficiency portfolios, and strategies to spur  
25 market transformation, and evolving need to track

1 impacts of efficiency programs on disadvantaged  
2 communities.

3 After the presentations, we will have a  
4 panel discussion to further explore the topics.

5 And without further ado, I will ask  
6 Heather to introduce our first speaker.

7 Thank you.

8 MS. RAITT: Thanks.

9 So first, if Alison LaBonte from the CPUC  
10 could join us?

11 (Off mike colloquy)

12 MR. LABONTE: Thank you, and thank you to  
13 the Commissioner, the California Energy  
14 Commission staff and my fellow panelists. I am  
15 happy to be here. I am the Supervisor for  
16 Residential Energy Efficiency and Portfolio  
17 Approval with the California Public Utilities  
18 Commission in the Energy Division. And I want to  
19 thank the team. I'm a new member on the team,  
20 and so I definitely leaned a lot on my team  
21 members to pull this together, as well as Paula  
22 Grinling (phonetic), who (indiscernible) is  
23 coordinating with the California Energy  
24 Commission on goal setting.

25 So just to set the high level here, of

1 course, the goal setting effort was in reaction  
2 to our objective with the SB 350 Doubling Energy  
3 Efficiency Savings. We, as the CPUC collaborated  
4 with the CEC to translate, well, what does that  
5 mean for the contributions that the CPUC  
6 regulated program administrators for energy  
7 efficiency, and that includes the investor-owned  
8 utilities, as well as community choice  
9 aggregators and regional energy network program  
10 administrators. What is their role in meeting in  
11 this overall doubling energy efficiency savings  
12 goals? And that's shown here in our light gray,  
13 the bottom wedge of this graphic.

14           And I also want to note that our  
15 activities regulated under the CPUC also support  
16 some of these other regs, advocating for codes  
17 and standards, which is under CEC, as well as  
18 demonstrating new and high risk, but high-  
19 opportunity ways of tapping into energy  
20 efficiency savings in the market, and that those  
21 demonstrations could potentially lead to other  
22 programs in these other wedges, leveraging our  
23 learnings.

24           So the format or the outline for this  
25 slide, the presentation I'll be making, is I just

1 want to orient to, you know, how do we translate  
2 from an overall vision that SB 350 sets, all the  
3 way down to the on-the-ground implementation by  
4 our program administrators. And along the way,  
5 we have built in metrics for tracking progress  
6 and then learnings that we can gain from using  
7 those metrics, and the program administrators  
8 implementing on the ground to feedback and to  
9 updating our goals and leveraging from each  
10 other. So that's sort of the overview outline of  
11 this presentation.

12           A little bit on the process side for how  
13 CPUC cycles with setting goals and then updating  
14 those goals after we implement for a few years.

15           We start by, every two years, the  
16 California Public Utilities Commission has a  
17 Potential and Goals Study. And that's where we  
18 determine, you know, overall there's a technical  
19 potential to tap into, but then there's an  
20 economic potential subset of that, and then a  
21 further subset is the market potential. And in -  
22 - after setting what those quantities are, then  
23 the Commission, in a decision, has adopted the  
24 market potential as the total energy efficiency  
25 savings that we see as aggressive yet achievable

1 for our program administrators to meet.

2           And so in adopting the market potential,  
3 we also break down to each program administrator  
4 what share of that total market potential each  
5 program administrator is responsible to step up  
6 and meet. Then the program administrators come  
7 to us with here's their forecast savings, how  
8 that compares to the decision that states what  
9 they have to meet and what it's going to cost to  
10 get there, basically taking the budget, the costs  
11 and the savings gives us the understanding of how  
12 cost effective will this portfolio that each  
13 program administrator is putting forward be?

14           And finally, we evaluate and verify what  
15 savings were achieved, and that's going to help  
16 us to feedback and did we meet our goals? How  
17 cost effective were our strategies towards  
18 meeting those goals? And then how can we learn  
19 and improve on our strategies and our programs  
20 that we're running? And that's where we  
21 really -- I mean, all of these areas, we have  
22 touchpoints with the CEC, but we definitely want  
23 to make sure in that that's a critical touchpoint  
24 to be updating and informing each other among the  
25 agencies.



1           One other thing I need to mention with  
2 this prior slide is it's going to get a little  
3 bit more complicated as far as touchpoints with  
4 other planning activities at the CPUC. And as  
5 many of you are likely aware, the SB 350 also  
6 requires first steps forward, that we need to do  
7 integrated resource planning. And for those that  
8 don't know, that's just basically an optimization  
9 effort where each program administrator brings  
10 forward assets or resources that they procure for  
11 both, you know, renewable energy supply, as well  
12 as things that occur.

13           In the loading order, you know, the first  
14 thing is to reduce energy efficiency, as the  
15 Commissioner noted. And so we're going to have  
16 to make sure that energy efficiency is counted  
17 and considered in this optimization problem of  
18 the integrated resources planning. And so we're  
19 basically going to be feeding inputs to that  
20 integrated resource planning efforts, as well as  
21 taking outputs in that interplay with our goal  
22 setting for future years.

23           So what's been going on in policy at the  
24 bigger picture level at the CPUC?

25           We have -- since SB 350, there's some

1 things that are the same at the policy level, and  
2 there's definitely some things that are new and  
3 some things that are the same. You know, a  
4 long -- for a long time, CPUC has held that we  
5 have to have -- be running programs in energy  
6 efficiency that are cost effective. And while  
7 the SB 350 bumps up what are goals in energy  
8 efficiency savings, we still have to get to the  
9 cost effective side. And so that's going to  
10 mean, you know, new challenges, and we better be  
11 tapping into new strategies and new ideas to  
12 meeting those challenges.

13           So in more recent time, with the business  
14 plans just last week getting approved or under  
15 the decision, we are taking some of the more  
16 recent strategies to really tap into those  
17 opportunities for saving, while still be cost  
18 effective, namely being our third-party  
19 solicitations to put -- have the program  
20 administrators put out to parties outside,  
21 designing really creative ways of bringing in  
22 energy efficiency savings in a cost effective  
23 way. And additionally, statewide implementation,  
24 trying to reduce some of the overhead or  
25 administrative by bringing programs where it

1 makes sense for them to be implemented over the  
2 state.

3           So those are just a couple of high-level  
4 ways of doing things new to reach the SB 350  
5 goals and see be cost effective. And I'll  
6 mention more granular ideas a bit further in the  
7 slides.

8           So here we have, translating again from  
9 what is our CEC and SB 350 goals? What are those  
10 goals? And then how are we going to meet them  
11 with our CPUC-regulated entities? And basically  
12 here, the blue line, is what are the annual  
13 targets? So the earlier graphic I showed was  
14 cumulative. And then this is just annually. And  
15 then the by-sector bar chart is what do our  
16 business plans forecast to achieve over the next  
17 cycle, which is -- our business plan cycle goes  
18 through 2025. And the forecasts in total is the  
19 orange line. And if you look back in time, you  
20 can see that we've had forecasts and actual  
21 verified savings that exceeded our forecasts, so  
22 that looks pretty good for the electric sector.  
23 Maybe we're going to be well above our CEC  
24 savings goal on the electric sector side.

25           There's some opportunity -- or what you

1 see here is the strategies that are being  
2 proposed by the program administrators. We have  
3 growth in residential and commercial, and a  
4 little bit of growth in the other sectors in the  
5 early years.

6           And on the gas side the story is a little  
7 bit different. You'll see that there's a much  
8 smaller margin between our forecast and what we  
9 have to achieve on the savings by the CEC target.  
10 And then when you look backwards at the most  
11 recent EM&V, the study that came out showing our  
12 verified savings versus the forecast, verified  
13 fell very short of our forecasted saving goals.  
14 And in order to address that, you know, we did  
15 ask the utilities or the program administrators  
16 to come back to us and tell us what they would do  
17 to meet these goals. And in the business plan,  
18 we approved a higher budget to meet by -- for  
19 SoCalGas in order to have an ability for them to  
20 meet their savings goals. And both --

21           COMMISSIONER MCALLISTER: Can I ask a  
22 quick question --

23           MR. LABONTE: Yes.

24           COMMISSIONER MCALLISTER: -- just a  
25 clarifying question?

1           So the CEC savings goals was, just to be  
2 clear here, reflects the goal for the PUC-IOU  
3 programs as expressed in that doubling report;  
4 right? So --

5           MR. LABONTE: Yes.

6           COMMISSIONER MCALLISTER: Okay. So just  
7 to remind everyone, that is -- it's not a  
8 doubling of historical PUC, it's -- I think it  
9 was a 1.5, or something like that.

10           And so sort of a sub-conversation of the  
11 whole doubling discussion has been, you know, how  
12 can we get truly, you know, higher, more out of  
13 the -- you know, with this cost effectiveness  
14 constraint that you mentioned, you know, it's  
15 challenging to get evermore out of the same  
16 dollars.

17           But I just wanted to remind people that  
18 that 1.5, you know, the existing portfolio, you  
19 know, wasn't counted on to double its piece, but  
20 rather to multiple by 1.5, which left sort of a  
21 larger relative gap for the overall doubling  
22 goal.

23           And so one of the things we really need  
24 to work on, as you say, I think getting --  
25 figuring out innovative ways to make even better

1 use of the ratepayer funds in the portfolio.

2 MR. LABONTE: Great. Thank you.

3 So I'm actually going to move on and then  
4 wrap up, probably, yeah, very soon because I'm  
5 overtime.

6 Some of the opportunities that we're  
7 looking into or have already launched to really  
8 achieve -- or fill that gap are on this slide,  
9 market transformation, which is a framework to  
10 allow longer-term strategies for achieving  
11 savings that push the bounds of what our current  
12 CPUC's policy allows as far as deemed savings and  
13 opens up a little bit for tapping into new  
14 savings from emerging technologies, as well as  
15 new mechanisms.

16 And the same with the normalized metered  
17 energy consumption. And I think each of the  
18 program administrators is going to speak to what  
19 are they doing? What are their strategies in  
20 these areas where they're, you know, basically  
21 leveraging the new, the policy changes in order  
22 to tap into some of those new opportunities with  
23 both, you know, incentive structures, new  
24 incentive structures that they've put in place,  
25 as well as new ways of reaching customers and

1 tapping into stranded savings? So we're doing a  
2 lot there. I'll let the program administrators  
3 go into that further, what exactly they're doing.

4           And then I did just want to make a  
5 mention to we're treating the metrics. That's  
6 critical that we've got common metrics across all  
7 the program administrators that we can learn from  
8 them along the way what the values are that are  
9 coming in under these metrics to continuously  
10 improve learning from each other, and then also  
11 sharing with the California Energy Commission on  
12 the programs for the other players that can help  
13 meet this overall doubling energy efficiency.  
14 And specifically, there are metrics on the  
15 customer bases, the customer segments that are  
16 called out that we want to pay particular  
17 attention to in the SB 350, the hard-to-reach  
18 markets or the hard-to-reach customers in the  
19 disadvantaged communities.

20           So I'll wrap up there with noting, yes,  
21 we are -- we have challenges ahead and we're  
22 looking forward to continuing to coordinate with  
23 the CEC and others in this space to meet those  
24 challenges.

25           MS. RAITT: Thanks very much, Alison.

1           So next, we have David Jacot from the Los  
2 Angeles Department of Water and Power.

3           (Off mike colloquy)

4           MR. JACOT: Okay, good morning everyone.  
5 I'm actually going to do this seated. I got a  
6 little bit of a gout flareup last week. Walking  
7 is okay, but standing, not for any length of  
8 time. So good morning, Commissioners.

9           So I'm David Jacot, Director of  
10 Efficiency Solutions for Los Angeles Department  
11 of Water and Power. I'm going to talk a little  
12 bit about our efforts here. Very quickly, I'll  
13 be going through why energy efficiency is  
14 important to the Department, and beyond just  
15 simply meeting goals, like SB 350, which we're  
16 certainly on track to do, our sustained effort to  
17 do that through 2020 and beyond, and a little bit  
18 on our non-energy benefits we look at, as well as  
19 equity. I know that's a big focus of today's  
20 discussion.

21          A few examples of successful energy  
22 efficiency programs. Also, an update on where we  
23 are in terms of behavioral and market  
24 transformation programs. And then I'll close  
25 with a discussion, for those of you who aren't



1 aware, we have a clean tech incubator in Los  
2 Angeles. It's at the La Kretz Innovation Campus  
3 in Downtown L.A. in the Arts District. And I'll  
4 talk about how we're leveraging that to support  
5 our larger energy efficiency efforts.

6           Oops. Yeah. Hang on. Okay. Sorry  
7 about that.

8           So why energy efficiency for L.A.?

9           This chart is an interesting one that  
10 really tells quite a story on GHG reduction and  
11 where our focus is going to be in energy  
12 efficiency and in our larger decarbonization  
13 efforts. You know, we've got to push to bring  
14 more and more renewables on the line, but only 19  
15 percent of California GHG comes from the electric  
16 power generation sector now. So even if we take  
17 that all the way to zero, we still have 81  
18 percent of emissions, which obviously does not  
19 meet the AB 32 targets.

20           So we're looking at, you know, we're  
21 looking at expecting a significant amount of  
22 electrification, specifically in transportation.  
23 There's been a recent push on the residential end  
24 use side, as well, but there's a lot less  
25 potential there. The transportation sector is

1 enormous in terms of the GHG reduction potential  
2 that can come from electrification.

3           And so we see that electrification as an  
4 opportunity and a challenge at the same time.  
5 It's going to be providing quite a bit more load,  
6 which from a revenue standpoint is good, from a  
7 rate stabilization standpoint is good in terms of  
8 having more kWh to spread fixed infrastructure  
9 costs across. But from the standpoint of meeting  
10 that load, especially as we move to  
11 decarbonization degeneration mix and go to more  
12 and more renewables, introduces a lot, you know,  
13 a lot more challenges, especially the time-of-use  
14 issues that Commissioner McAllister mentioned  
15 earlier.

16           So we're looking and we're working very,  
17 very closely with our other distributed energy  
18 resource groups inside the utility, and we're  
19 working to integrate those resources, energy  
20 efficiency, demand response, solar, distributed  
21 solar, and that's individual solar, rooftop  
22 solar, community solar, ground mount, electric  
23 vehicle charging, and distributed battery  
24 storage. And so the proper and strategic  
25 integration of those resources will be absolutely

1 key to accommodating more and more renewables on  
2 the grid as the grid grows bigger and bigger.

3           So, for example, we've done rough numbers  
4 on transportation electrification. If we get to  
5 where all the light-duty passenger vehicles in  
6 the City of Los Angeles are electrified and  
7 they're charging in the city, plus the commuters  
8 coming into the city, we've got a nighttime  
9 population of 4 million and a daytime population  
10 of 5.5, that doubles our load. We retail twice  
11 as much gigawatt hours under that scenario as we  
12 currently do today.

13           So if you're 50 percent renewable, we're  
14 not yet, but say we're 50 percent renewable on  
15 today's load, we're only 25 percent when you  
16 consider that level of load growth due to  
17 transportation electrification.

18           So energy efficiency is first in loading  
19 order for good reason, it makes everything else  
20 smaller. So as you integrate these other  
21 distributed energy resources, as well as the  
22 utility-scale resources, obviously, they work  
23 hand in hand, they have to, energy efficiency  
24 foundationally enables this to work because it  
25 simply just makes, like I said, everything

1 smaller, which helps on the costs, obviously.

2           Okay, so a lot of the numbers here. The  
3 bottom line, we set a 15 percent cumulative  
4 target between 2010 and 2020. We're well on  
5 track to make that. We've been ramping up our  
6 programs from a low of \$37 million spent in 2011-  
7 2012 to on track for about \$170 million this  
8 year. And then that funding level stays  
9 relatively constant going forward. And then  
10 after 2020, we'll start to ramp up again as we  
11 get into that ten-year period.

12           COMMISSIONER MCALLISTER: Say, David, can  
13 I ask a quick question?

14           MR. JACOT: Sure.

15           COMMISSIONER MCALLISTER: Have you done  
16 some scenario analysis in terms of looking at  
17 these load shifting opportunities and how much  
18 they would cost to realize versus, you know, some  
19 of the alternatives if those don't happen, such  
20 as, you know, having to essentially rebuild much  
21 of your distribution grid?

22           MR. JACOT: We have. We've done a  
23 Distributed Energy Resources Integration Study  
24 that specifically looked at a business-as-usual  
25 case. In other words, everything just kind of

1 continues as it is with minimal, if any,  
2 coordination, and an optimized scenario. And the  
3 optimized scenario did call for, you know, some  
4 policy shifts which may or may not be realistic.  
5 One of them was less distributed solar, so we'll  
6 see what happens.

7           But we did identify that with proper  
8 integration we could cut the incremental cost of  
9 what we think the rates are going to be in 2030.  
10 So if we just let business as usual take its  
11 course, we wind up with one rate scenario. And  
12 then if you try and strategically optimize the  
13 deployment, both locationally and in the absolute  
14 magnitude of the various distribution energy  
15 resources, we found an incremental case that was  
16 about 40 percent less than the business-as-usual  
17 case. And there are other scenarios built into  
18 that, as well.

19           COMMISSIONER MCALLISTER: Well, great.  
20 Thanks.

21           MR. JACOT: So onward to 2027 and beyond,  
22 we just completed a potentials study last week  
23 for the 2017 to 2017 time period. That's an  
24 outgrowth of AB 2021 which directs the POUs to --  
25 we used to be every three years, now we're every

1 four years, set a ten-year rolling target that at  
2 least hits ten percent. We've been pegging it at  
3 15 percent cumulative across the time period.

4           We took it all the way out to 2030, just  
5 because so much other planning is done out to  
6 2030, as well as SB 350. That those numbers, are  
7 very fuzzy. It's kind of like a flashlight in  
8 the fog; the beam spreads and things get fuzzier  
9 the further they are out. We're actually  
10 planning to build in-house capacity to do our own  
11 potentials studies and do them on an annual  
12 basis, so we can feed them right into our IRP at  
13 the same time. But bottom line, if that pace  
14 continues, a 15 percent pace is about 400  
15 gigawatt hours a year, and gets us to another 15  
16 percent by 2027.

17           We put a lot of focus on the non-energy  
18 benefits, as well. We have guiding principles we  
19 adopted by in 2012. You know, City of Los  
20 Angeles is collecting quite a bit of money from  
21 our customers, our ratepayers, our citizens, to  
22 spend on energy efficiency. So we have some, you  
23 know, non-energy benefits from a policy  
24 standpoint that we want to achieve. Chief among  
25 them is equity of access to our programs. There

1 should be something for everybody. You know,  
2 cost effectiveness, I can just go in and work  
3 with the port and work with the airport and maybe  
4 the school district and make the goals off of  
5 that, but that doesn't satisfy the policy  
6 imperative to provide efficiency opportunities  
7 for everyone.

8 I'm getting a two-minute warning, so I'm  
9 going to pick up the pace he a little bit.

10 We're also very focused on job creation.  
11 We did a study with UCLA that we're updating, 16  
12 jobs for \$1 million invested. It's very labor  
13 intensive, less capital intensive and more labor  
14 intensive.

15 Equity. So we adopted equity metrics at  
16 LADWP. So we start with the CalEnviroScreen and  
17 then we -- to determine areas of most need. And  
18 then we've built in these equity metrics in these  
19 five -- into these four categories, water and  
20 power infrastructure investment, customer  
21 incentive programs, procurement, contracting and  
22 employment. And we've got about 15 of these  
23 metrics, which we then use GIS mapping to see how  
24 we're doing across the city. Now, this one is a  
25 composite, but we can do this for any of those

1 programs and any of those metrics. This is a  
2 composite specifically of customer participation  
3 in various energy efficiency programs. You can  
4 see where the hotspots are of participation and  
5 nonparticipation.

6           Okay, in the interest of time, on the  
7 programs, I'll talk about a couple of them, and  
8 then I'll talk about what we're not doing.

9           So residential LED distribution, we just  
10 completed giving -- distributing door to door two  
11 75 watt-equivalent LEDs to every household in Los  
12 Angeles. We completed that yesterday, I believe.  
13 And so that's a nice outreach opportunity. We  
14 have the basic programs that everybody's familiar  
15 with, express lighting, custom, direct install.  
16 Our own facilities walk our talk. We have an  
17 excellent partnership with SoCal Gas, about 17  
18 joint programs we administer. And that's helped  
19 us bring in -- plug some holes in our portfolio,  
20 new construction, residential and commercial, and  
21 some other areas to allow us to serve all the  
22 markets and segments and customers in the city.

23           Now on behavioral, we are a little bit  
24 behind, and I'll tell you. We don't have AMI and  
25 we don't see AMI anytime soon. We want it. We



1 plan on it. It's in our five-year strategic  
2 plan, both water and power. But, you know, as  
3 some of you might now, we had a tricky billing  
4 system rollout a few years ago that has consumed  
5 our IT resources ever since. And now we're  
6 needing to upgrade that, for cyber security  
7 which, of course, is, you know, paramount  
8 important, so that is going to push us out a  
9 little bit on AMI. We don't really have an ETA  
10 at this point, I would say sometime in the 2020s,  
11 which doesn't sound very optimistic, but we'll  
12 see. We'll see what happens there. But without  
13 AMI, we're limited, you know, to what we can do.  
14 There's still things we can do and we will do  
15 them, but, you know, we don't have the real-time  
16 information that can really take advantage of  
17 some of the new platforms and technologies that  
18 are coming out.

19           The good news is by being so late to that  
20 party, when we do get there, it will be a mature  
21 field, both from a cost standpoint and, clearly,  
22 what works and what doesn't. So we'll be able to  
23 catch up very quickly.

24           Finally, I'll talk about our La Kretz  
25 Innovation Campus and how it really reinforces

1 the emerging technologies side of energy  
2 efficiency. And that's how we get those out-here  
3 (phonetic) savings and get those out-here savings  
4 up in the ten-year target cycle because we need  
5 to have those technologies in the pipeline coming  
6 in, so it's a business incubator. It's not  
7 necessarily a tech incubator, but it helps  
8 companies that already have a product get through  
9 the certification process and have a business  
10 plan and find some financing, et cetera, to help  
11 them grow there, and just general business  
12 management assistance.

13           So the incubator assists with the  
14 technology incubation and emerging technology  
15 products in the companies. It helps them become  
16 -- you know, grow in the market and get  
17 commercialized. And then because we're there as  
18 well, we actually have staff there, we assist  
19 with building those into our energy efficiency  
20 programs, providing incentives to help drive  
21 market adoption. The unique thing about having a  
22 business incubator attached to utility is we  
23 provide a tremendous market, both our own  
24 facilities, which are vast, as well as access to  
25 our customers which run the gambit of all

1 segments. And so that's a very, very unique  
2 thing that I don't think there's any other  
3 partner incubator that has that.

4           And then because we do extensive  
5 evaluation measurement and verification of our  
6 program savings to make sure that the savings are  
7 real and we can count on them as a resource, we  
8 also get that feedback back to those companies.  
9 You know, you think your product is saving this.  
10 This is what we're finding. And that assists the  
11 next -- that's the virtuous cycle -- that assists  
12 the next iteration of those product lines and  
13 services.

14           That's all. I think we're holding  
15 questions to the end. Okay. Great.

16           Thanks everyone.

17           MS. RAITT: Thank you. So next is  
18 Michael Callahan from Marin Clean Energy.

19           And you have to hit the page up or down.

20           MR. CALLAHAN: Great. Thank you.

21           Good morning. My name is Michael  
22 Callahan. I'm a Regulatory Attorney for Marin  
23 Clean Energy. And we are a local not-for-profit  
24 electricity provider. We're actually a  
25 governmental entity. I'm a public servant.

1           And you can see that solar field in the  
2 background. That's MCE Solar I. It's a project  
3 we got built and we're going to take ownership of  
4 as soon as the tax credits are fully taken  
5 advantage of, and that's in our service area.  
6 It's on a brownfield site in Richmond,  
7 California, so local power for our customers.

8           Our mission is to address climate change  
9 by reducing greenhouse gas emissions through  
10 renewable energy, stable, competitive rates,  
11 local economic and workforce benefits, and energy  
12 efficiency. And just, I'm going to run through a  
13 little bit of education about CCA, because I  
14 always like to take the opportunity, but the I'll  
15 move over to the business plan and energy  
16 efficiency programs.

17           This is a graphic that shows that MCE is  
18 focused on the generation, while PG&E still does  
19 the transmission and distribution for the  
20 electricity our customers use.

21           As a bit of a timeline, we formed in  
22 2008, started service in 2010, and we're  
23 currently serving over 450,000 customer accounts.

24           This is a map of our service area. You  
25 can see, we're serving the entirety of Marin

1 County and all of the jurisdictions within it,  
2 the same for Napa County, much of Contra Costa  
3 County, and in Solano County, we're serving the  
4 City of Benicia, 33 member communities that are  
5 represented by a board of directors that are made  
6 up of locally-elected officials from those  
7 jurisdictions. And you see it's 27 board members  
8 versus 33 communities because Napa County has  
9 delegated all of its authority for its  
10 jurisdictions to one board member.

11           We have energy efficiency programs.  
12 That's what we're here to talk about today. This  
13 just gives you a quick snapshot of some of the  
14 history of MCE. And we focus also -- sorry -- we  
15 focus also on water savings, so not strictly  
16 electricity. We actually also have funding for  
17 gas efficiency within our energy efficiency  
18 programs, as opposed to sort of the partnership  
19 model that some of the other program  
20 administrators have in California.

21           So I'm going to talk about some  
22 highlights for MCE's recently approved business  
23 plan.

24           First, it's a comprehensive portfolio,  
25 which is a new thing for MCE and for CCA's

1 generally. That means we're looking to serve  
2 more than just residential and commercial  
3 sectors. We're looking at industrial and  
4 agricultural. We have an expanded workforce  
5 component. And we're looking to do resource and  
6 non-resource offerings across all the sectors.

7           One thing that I think is particularly  
8 interesting about the business plan is the focus  
9 on a customer-centric approach. And we're doing  
10 that through a single point of contact model that  
11 I think is a little different from how it's been  
12 done before. We're focusing there, it's not a  
13 referral, but it's sort of how our folks are  
14 trained in-house to be able to help customers  
15 access our energy efficiency programs, but also  
16 other program administrator's energy efficiency  
17 programs where we don't have an offering. And  
18 even beyond energy efficiency, a full spectrum of  
19 demand-side resources, rooftop solar, battery  
20 storage, even health and safety. So we're  
21 looking for sort of an integrated set of  
22 offerings that work for a customer built off that  
23 platform of energy efficiency.

24           Another interesting piece that I find is  
25 that we have a declining incentives model within

1 the business plan and it's a little bit modeled  
2 after the California Solar Initiative where, you  
3 know, emerging technologies, you may need to have  
4 higher rebates. But for those technologies that  
5 have good penetration, you can bring the rebates  
6 down and rely more on the relationship and the  
7 technical assistance to get projects done. So  
8 it's a way to reduce costs for the programs over  
9 time.

10 I'm going to go now through sort of each  
11 sector and talk about some of the offerings we're  
12 planning to put forward.

13 First, in the residential sector, we  
14 focused on single family and multifamily, but for  
15 both we're looking to provide targeted single  
16 measure rebates, as well a standalone direct  
17 install program, stepping into new construction  
18 with a focus on zero-net energy, including  
19 behavioral programs, in addition, information  
20 automation, so folks have what they need and may  
21 not need to engage in order to save energy. And  
22 in single family, we're looking at a  
23 comprehensive retrofit program, as well as  
24 continuing to leverage the Energy Savings  
25 Assistance Program funding with the general EE

1 funding. MCE has a pilot through the Energy  
2 Savings Assistance Program which is low-income  
3 energy efficiency, our income-qualified program.  
4 And we are working to integrate the delivery of  
5 those two funding streams, so we'll continue that  
6 in the residential space.

7           In commercial, we're looking to expand  
8 the offerings small commercials tend to get  
9 beyond lighting. We want those folks to have  
10 deeper opportunities to get energy efficiency  
11 and, again, other resources, like water savings.  
12 And for MCE, we're looking to serve large  
13 commercial customers for the first time.  
14 Previously, we had been focused on small  
15 commercial customers.

16           We're really excited about the  
17 opportunity that meter-based savings presents,  
18 particularly the normalized metered energy  
19 consumption, or NMEC, and we'd like to  
20 incorporate that when feasible. In addition,  
21 focusing on new construction in commercial.

22           For agricultural and industrial sectors,  
23 these are, as I mentioned, new sectors for MCE.  
24 And we'll focus on the traditional measures, such  
25 as pumping for irrigation, and the strategic



1 energy management for industrial, but we also  
2 want to make sure that sort of each customer has  
3 a project that works for them. That may mean  
4 bringing in our multifamily program to help with  
5 farmworker housing in an agricultural customer  
6 site, or starting with one-off rebates for  
7 industrial customers to build their relationship  
8 and get a foot in the door.

9           In terms of stepping outside of the  
10 sectors, behavioral and market transformation,  
11 the customer transformation concept we have,  
12 which ties in the sort of customer-centric  
13 approach in building a relationship over time and  
14 the declining incentives, is based on market  
15 transformation studies, the fact that customers  
16 don't need, necessarily, rebates in order to get  
17 projects done.

18           We, in the past, have had a My Energy  
19 Portal and a Home Energy Reports Program, but  
20 we're looking for new opportunities to do  
21 innovative things. And we think one big  
22 opportunity for market transformation is around  
23 heat pumps. We think there's a lot of  
24 opportunity there in terms of electrification and  
25 reducing greenhouse gas emissions, and a lot of

1 work to be done upstream and with contractors in  
2 terms of getting that deployed more broadly.

3           In terms of disadvantaged communities and  
4 targeting and serving disadvantaged communities,  
5 it's worth noting that those are folks that are  
6 lower income and have higher environmental  
7 pollution in their area. And we have those  
8 within MCE's service area. Many CCA's have  
9 disadvantaged communities in their service area.

10           And one of the things that we don't want  
11 to get lost in terms of the focus on  
12 disadvantaged communities is that it's not a  
13 perfect fit, there's some holes in the  
14 CalEnviroScreen tool, folks that are still  
15 facing, you know, low-income challenges and  
16 challenges with health and safety issues that may  
17 not show up as a disadvantaged community. So I  
18 think it's important to take a little bit of a  
19 broader look while you're still trying to serve  
20 that community.

21           And in terms of the Multifamily Program  
22 that we have today, we're sort of integrating  
23 with that a low-income families and tenants, or  
24 LIFT Pilot, and that's the Energy Savings  
25 Assistance Program funding I mentioned earlier.

1 And that's working on a number of things, but  
2 part of that is to help define a hidden community  
3 of folks which are folks that have difficulty or  
4 challenges engaging with our energy efficiency  
5 programs and try to collect data on barriers that  
6 those folks are seeing.

7           And some of the data that we're  
8 collecting there, folks that have enrolled and  
9 have received information in a language other  
10 than English or have been engaged through a CDO,  
11 a community-based organization, some of the  
12 barriers we're seeing now relate to the income  
13 verification process. We're also planning to  
14 collect information around non-energy benefits  
15 through pre- and post-surveys on comfort, quality  
16 of life, and understanding of the installed  
17 technology.

18           And finally, I'm going to talk about some  
19 methods of measuring energy efficiency in terms  
20 of disadvantaged communities and hard-to-reach  
21 customers.

22           And I think, you know, all of the program  
23 administrators who recently had business plans  
24 approved through the CPUC are working to finalize  
25 the metrics, and we're likely to use a common set

1 of metrics. But I think one sort of theme that I  
2 would like to throw out there is just to try to  
3 keep metrics consistent between general income  
4 folks and low-income or disadvantaged communities  
5 to avoid creating silos. You may need some  
6 additional metrics to make sure your reaching  
7 certain populations, but we should try to keep  
8 things as consistent among folks as possible.

9           And in terms of doubling energy  
10 efficiency, one of the things that I'm really  
11 interested in is helping to get our policy, our  
12 metrics, our cost effectiveness looking at  
13 unified metric between gas and electricity, Btu  
14 equivalent or a net Btu-type metric that could  
15 incorporate the hourly impacts of efficiency,  
16 should look at the greenhouse gas emissions and  
17 grid benefits, so capturing that part of the  
18 value, not strictly the energy savings. And I  
19 think that helps really unlock the efficiency we  
20 can get through electrification. And, of course,  
21 the value there grows as our grid becomes  
22 greener.

23           So that concludes my presentation.  
24 Looking forward to discussion.

25           COMMISSIONER MCALLISTER: Heather, can I

1 ask one quick question?

2           So you said that feasibility of NMEC  
3 was -- so you said you want to do it, but you  
4 can't until it's quote feasible. What do you  
5 mean by feasible? What's the barrier there?

6           MR. CALLAHAN: Well, I think that the  
7 CPUC is looking at out to do NMEC and has  
8 approved an approach for the industrial sector.  
9 And that approach adds steps to the current  
10 customer review process, which is maybe important  
11 but a bit burdensome. And so I think we're  
12 looking for, you know, as an approach gets  
13 finalized for other sectors, that it's useful and  
14 easy to implement, particularly for smaller  
15 customers.

16           MS. RAITT: Thanks. Next is Halley  
17 Fitzpatrick from PG&E.

18           MR. FITZPATRICK: Hello, this is Halley  
19 Fitzpatrick from PG&E, and I'd like to thank the  
20 Commission for inviting us here today to talk  
21 about our business plan and how -- and our  
22 general efforts to achieve the State's SB 350  
23 goals.

24           So a quick summary of what we're going to  
25 talk about, what I'll be sharing today is the

1 highlights of a very high-level summary of our  
2 business plans and the strategies that we're  
3 pursuing to achieve 350 goals, as well as a  
4 little bit of a closer look at some specific  
5 market transformation and behavioral activities  
6 that we're doing. And I'll wrap it up with a  
7 summary of our disadvantaged community efforts.

8           So to start, for me, when I first heard  
9 about the -- that we were expected -- we were now  
10 charged with doubling energy efficiency, I tried  
11 to think of some analogy, like what does that  
12 mean? And Commissioner McAllister mentioned an  
13 analogy earlier about an orchestra, and I think  
14 this one's probably a little bit similar. And I  
15 thought about telling someone to jump twice as  
16 high as they can jump. So we were already  
17 jumping as high as we can, now jump twice as  
18 high.

19           And that was, initially, that was my  
20 reaction was, well, of course, we can't do that.  
21 But then after some reflection and you think  
22 about it, we're asked to jump twice as high, not  
23 that same day, but we have some ramping period,  
24 some time to jump higher.

25           So what would someone do if they wanted

1 to jump twice as high in the future as they could  
2 today? They might change their diet. They might  
3 change their training regimen. And I they might  
4 get a new pair of shoes, say.

5           So it's going to take a -- it's going to  
6 take a few things. There's no one trick to  
7 jumping twice as high as you ever have in your  
8 life.

9           So for PG&E, how we're going to attempt  
10 to jump twice as high is also with three key  
11 strategies, and those are maximizing the value of  
12 EE as a grid resource, wisely deploying our  
13 customers' investments in energy efficiency, and  
14 also streamlining our portfolio. So I'll go into  
15 a little bit more detail on each one of those  
16 briefly.

17           So we really need to advance EE and  
18 double EE. We really need to develop it as a  
19 cost-effective grid resource that is integrated  
20 with other distributed energy resources.  
21 Sometimes that might mean competing with them.  
22 Sometimes it might be cooperating with them. But  
23 in all cases, integrating better with distributed  
24 energy resources.

25           Some examples of that in the past that

1 we've had in the past that are our test bed, so  
2 to speak, is we've had several PVSM (phonetic)  
3 initiatives. These are very localized energy  
4 efficiency and -- excuse me -- demand response-  
5 type programs in areas that have grid  
6 constraints.

7           Oh, and obvious ones that are right up  
8 there, actually, is, and they were mentioned  
9 earlier, is looking at new opportunities with  
10 normalized metered energy consumption and pay-  
11 for-performance methods to make the EE savings  
12 much more tangible and real, and therefore more  
13 competitive among DERs.

14           The second one is widely deploying our  
15 customers' investments and being a little bit  
16 more strategic with the funds that we have. And  
17 I think one of the biggest things, one of the  
18 biggest changes that we see that's going to  
19 happen over time, it won't happen overnight, is  
20 moving away from a portfolio that's very heavily  
21 reliant on widget-based rebates and having set  
22 dollar transactions for certain devices, and  
23 moving towards other models that use financing,  
24 other types of financial incentives or non-  
25 financial incentives to move the needle,



1 including looking at ways to deploy outside  
2 capital investment, private capital investment.

3           And lastly, we're streamlining our  
4 portfolio. Historically, we've had over 100  
5 different programs at any given time which, in  
6 some cases, can be confusing for our customers,  
7 and in many cases, inefficient for us to be  
8 running two parallel, very similar programs. So  
9 we're looking to have a more streamlined  
10 portfolio that's more customer centric, likely  
11 with less individual programs.

12           And another huge thing we're doing there,  
13 along with the other IOUs, or other PAs, I should  
14 probably say, is nurturing and further developing  
15 our statewide programs and recognizing that some  
16 programs really work better if they're more  
17 extremely consistent throughout the entire state,  
18 such as new construction programs, for example.

19           So a second -- so that's the ultra-high  
20 level.

21           To zoom in ever so slightly, this is our  
22 wheel of -- our business plan wheel that's kind  
23 of famous and plastered all around our offices,  
24 and it's really driving how we think about  
25 bringing energy efficiency to our customers. And

1 I'll quickly go around the wheel for you today.

2           In the commercial sector, a real key  
3 thing is we're looking at targeted value  
4 propositions for those specific subsegments  
5 within the commercial sector, looking at new --  
6 and kind of especially looking at new incentives,  
7 financial and non-financial models.

8           In the public sector the real focus there  
9 is looking at stranded potential and aging  
10 infrastructure of our public buildings.

11           And in the industrial sector, some of the  
12 things that we're really excited about, and it's  
13 a statewide effort, is the Strategic Energy  
14 Management Program, which we're hoping is going  
15 to challenge a number of challenges -- going to  
16 overcome a number of challenges that we've seen  
17 in the industrial sector for achieving energy  
18 efficiency.

19           And agricultural, similarly, we're  
20 looking at strategic partnerships and looking at  
21 not only saving energy, but also saving water.

22           And lastly, in the residential sector,  
23 we're looking at new -- especially excited about  
24 new targeting methods to have household level  
25 targeting to find out where the real -- to

1 accelerate our interventions into the houses that  
2 have the most opportunities.

3           And then tying that all together is  
4 something we call the cross-cutting sector, and  
5 these are different interventions and strategies  
6 that go across all customer sectors. And it kind  
7 of adds to the streamlining of our portfolio as  
8 these types of efforts are best done at the  
9 portfolio level, not just necessarily just at the  
10 customer sector level. I'll leave it at that.

11           So I'm going to talk briefly about some  
12 market transformation, one of our exciting market  
13 transformation programs. This is called the  
14 Retail Products Platform, or RPP. And this  
15 program is interesting because -- I have two  
16 minutes left -- it's very interesting. I'm going  
17 to speak very briefly about it.

18           How do we drive change in the marketplace  
19 in large retailers in California when those large  
20 retailers have a national and, likely, a global  
21 presence? So for that, we need to up-level and  
22 work with our sister utilities across the country  
23 to really drive change in how those retailers  
24 look at stocking their shelves, because they  
25 don't -- sometimes they do but many times they

1 don't want a special decision about a unique skew  
2 (phonetic) that's only available in California,  
3 so we need to think bigger.

4           Another really exciting program for us is  
5 a behavioral program that's called Home Energy  
6 Reports, or HER. And this is -- the premise of  
7 this one is about people's tendency to want to  
8 keep up with the Joneses, so we send customer's  
9 materials to tell them how much energy they use  
10 compared to efficient homes or compared to their  
11 neighbors in hopes that that drives change, but  
12 it's not so much in hopes because we have  
13 evaluations for these programs now and detailed  
14 evaluations that's shows that these actually  
15 really do drive change.

16           And we're now on a couple iterations, a  
17 couple years in -- a few years into this program,  
18 such that now we're looking at targeting specific  
19 customers and looking, in some cases, the same  
20 notification might drive seven customers to  
21 decrease their energy use, but it might drive  
22 someone else to increase their energy use. So  
23 how do we address that customer that was a  
24 negative saver? What kind of different flyer  
25 should we send them so that they actually save?

1           And I'll close with disadvantaged  
2 communities. This is, obviously, a hot topic and  
3 a part of SB 350. One of the first things that  
4 one needs to do when thinking about disadvantaged  
5 communities is learning where they -- where these  
6 communities are and who these customers are and  
7 how many of them. And here's a quick sample, a  
8 plot of where these customers exist in our  
9 service territory. The interesting thing here is  
10 that there's over 1 million customers. This is  
11 20 percent of PG&E's customers are disadvantaged  
12 customers. So we've done a lot of analysis to  
13 try to pinpoint that and help us identify them  
14 even more and look for trends.

15           One interesting trend is that there's a  
16 lot of overlap between those customers that are  
17 in disadvantaged communities and those customers  
18 that are eligible for our CARE Program. And one,  
19 I think, exciting thing is that of the CARE-  
20 eligible customers in our disadvantaged  
21 communities, 99 percent of them are already  
22 enrolled in CARE, which I think is a great start.  
23 But we obviously still have a lot of work to do  
24 beyond just enrolling people in the CARE Program.

25           PG&E's overall disadvantaged communities

1 strategy, one of the very first -- a key part of  
2 the strategy in developing an enterprise vision  
3 is just getting the right people together and the  
4 right -- in the same organization to have,  
5 essentially, a laser focus on addressing the  
6 needs of disadvantaged communities with new  
7 programs and other interventions, so we have a  
8 new organization with a Director of Disadvantaged  
9 Communities now that was recently put in place  
10 several -- a few months ago.

11           The second level is increasing our  
12 collaboration with not-for-profit organizations  
13 to grow community partnerships.

14           And lastly, a key part of the overall  
15 strategy is making sure that we're tracking our  
16 progress and achieving a real measurable impact  
17 in these communities.

18           So I'll close with a summary of some of  
19 those metrics that we're currently looking at for  
20 energy efficiency and that are in the approved  
21 business plans now, but are still -- have some  
22 fine tuning listed there. I won't read them for  
23 you. And also, there's looking at the different  
24 disadvantaged communities metrics and other  
25 programs, such as how much ESAP, Energy Savings

1 Assistance Program, a low-income program,  
2 participation there is in that area, as well as  
3 electric vehicles and solar penetration.

4 I think, thank you for your time.

5 MS. RAITT: Thanks very much.

6 So next is Athena Besa from San Diego Gas  
7 and Electric.

8 MS. BESA: Good morning, Commissioners  
9 and all of you guests today. Thank you for  
10 inviting us to speak on our energy efficiency  
11 business plan for the future. I'm Athena Besa  
12 with SDG&E, and I am the Senior Energy Efficiency  
13 Project Manager.

14 So in general, we look at the business  
15 plan as an opportunity to hone in our energy  
16 efficiency to actually help in contributing to  
17 getting California's preferred resource to be  
18 more cost effective and to actually reach a lot  
19 more customers and deliver more savings.

20 So one of the things of these five items  
21 here that we have that we're focused on are to  
22 develop a single platform so that we can focus  
23 customers into -- a they journey through their  
24 energy efficiency. A lot of you know that  
25 customers start thinking about energy efficiency,

1 but it's not an instantaneous decision, nor is an  
2 instantaneous purchase the end of their journey.  
3 So we keep -- we have to keep nurturing them so  
4 that we can actually harvest all of these energy  
5 efficiency savings that we're looking for.

6           The other thing, too, is continuously  
7 improving customer engagement and experience.  
8 Sometimes customers don't have a good experience  
9 and it turns them off energy efficiency. And  
10 they all -- for other -- there's plenty of other  
11 distributed energy resources. And so they would  
12 tend to skip energy efficiency and move towards  
13 other distributed energy resource opportunities,  
14 which may or may not be, in the grand scheme of  
15 things , the best option.

16           Okay, so this is a general overview of  
17 the statistics in our business plan filing. We  
18 have, on the average, \$160 million that we intend  
19 to carry forward until 2025. We, at this point,  
20 don't anticipate that we would require additional  
21 funds to see us through the end of 2025, which is  
22 what the goal is the Commission gave us. And so  
23 if you look at it over time for SDG&E, we start  
24 up high at 236 gigawatt hours, but in the long  
25 run we come down to about 214 gigawatt hours.



1           What one of the interesting things about  
2 the business plan is that there's a push towards  
3 a lot more statewide activity. And I think  
4 Halley talked about it in terms of their retail  
5 platform experience, for example, that a lot of  
6 it is going on across the state and across the  
7 country. And so if we leverage these types of  
8 programs, we could probably get a better bang for  
9 our dollar.

10           So the next of the slides, which you all  
11 have in your presentation, actually provide a  
12 profile of the different sectors that we have in  
13 our portfolio. It has statistics about how many  
14 customers we have, what percentage of consumption  
15 and end uses they have, and different types of  
16 future ideas that we have to address this. I  
17 will focus only on the first three which is the  
18 residential, and the commercial, and the public  
19 sector, which for SDG&E is the majority of its  
20 customers. And then for those of you who stay  
21 this afternoon, we'll focus -- I will talk about  
22 our industrial and ag sector.

23           So our residential sector is the majority  
24 of our customer base. So we have over a million  
25 residential customers and they're primarily

1 divided between single family and multifamily.  
2 As you can see, that 32 percent of our EE  
3 spending is on this sector, and they use about 36  
4 percent of our consumption.

5           So when we look at them for the future,  
6 most of the end-use opportunity starts declining.  
7 The plug loads are forecasted to grow. But then  
8 again, with the advent of a lot of self-  
9 generation the potential starts declining from  
10 that perspective since we -- energy efficiency  
11 programs only impact the savings that come from  
12 the grid, not from distributed resources. So a  
13 lot of -- SDG&E has a large saturation of solar  
14 customers. And another opportunity is, really,  
15 for increasing load on our grid is our increase  
16 in electric vehicles.

17           So one of the things that we're looking  
18 at, really, is home management systems. So if  
19 you look at it moving forward -- did I do it  
20 right? Yes.

21           So in the past, we depend on rebates,  
22 like Halley was saying, single transactions,  
23 rebates and so forth. But really, the  
24 opportunity for residential customers, and I  
25 think the potentials study does indicate this, is

1 there's a lot of potential in behavioral  
2 programs. And so we are looking to expand our  
3 behavioral programs.

4           One of the things that we recommended in  
5 response to the Commission's reconsideration of  
6 the evaluation methodologies that they're using  
7 is currently behavioral programs require you to  
8 be valuating them using an experimental design,  
9 which then means we have to maintain a control  
10 group. As Halley has said, we've done this  
11 program for a few years and there are savings.

12           So we are recommending that we no longer  
13 need to have an experimental design, but rather  
14 allow as many customers to participate in the  
15 program so that we could actually increase the  
16 potential for savings from that perspective.

17           Another interesting thing about behavior  
18 programs, which we probably should spend a little  
19 time understanding, is the lifecycle of the  
20 savings. Currently, it only has a one-year life  
21 cycle, which means we have to keep maintaining  
22 these types of customers over time so that we  
23 maintain the savings that are accruing from  
24 behavior programs. But there are early studies  
25 that have shown that potentially it is beyond a

1 one-year life cycle for behavior savings. So  
2 that's another way to look at opportunities to  
3 leverage meeting our SB 350 goal. Okay.

4           Our commercial market is our next biggest  
5 market. So we have about 100-plus million  
6 customers on the residential side, and we have  
7 about 230 to 250 customers. And I remember one  
8 of our directors who was doing our business  
9 services, she always characterized the market  
10 that we look at as commercial as it's anywhere  
11 from the military, which is the naval bases, all  
12 the way down to a nail salon, for example. So  
13 this is the mix of customers that we have. Most  
14 of SDG&E's commercial customers are really small  
15 customers. So we have about 85 percent of our  
16 customers are under 20 kW. And the majority of  
17 our businesses are either wholesale, retail,  
18 office, and hospitality and other services.

19           So one of the things that we're looking  
20 towards for this particular market is the whole-  
21 building approach. One of the things that we want  
22 to leverage is benchmarking, as driven by AB 802.  
23 So a lot of the business customers, plus some  
24 multifamily customers, will be required to do  
25 benchmarking at certain points in time.

1           And since they have to interact with the  
2 utility, it provides us with a good indication of  
3 where our commercial customers are as we interact  
4 with them. And then we use that as an  
5 opportunity to start working with them and  
6 developing an energy action plan that will take  
7 over time so that they can actually also improve  
8 their benchmarking standing, but also look at  
9 energy efficiency opportunities over time.

10           And then as probably most of you know,  
11 for office and this type of commercial buildings,  
12 75 percent of the total savings potential comes  
13 from either a whole building, a whole-building  
14 approach, or lighting. So with the increase in  
15 codes for lighting, it becomes a lot more  
16 challenging for us to find opportunities for  
17 lighting. So we look forward to maybe,  
18 potentially, new technologies for lighting that  
19 will give us a leap in achieving energy savings.  
20 And then continuing to work on the whole-building  
21 approach.

22           One of the things that we want to focus  
23 on, and I think Halley alluded to this, also, is  
24 a concerted effort to work with customers in a  
25 single fashion in the sense that we nurture them

1 over time, we develop plans with them, and we  
2 look to check in with them every so often so that  
3 we can make sure that, you know, they're on their  
4 track to get to energy efficiency, but also at  
5 the same time tweak it as they make changes to  
6 their own business models.

7           Okay, I think I talked about that.

8           And so the -- a new sector is the public  
9 sector. The public sector used to actually be  
10 classified under the commercial sector based on  
11 the NECS (phonetic) codes. But because they  
12 are -- they have enough characteristics that are  
13 significantly different than the normal  
14 commercial customer, that you would probably want  
15 to provide a little more focus on them.

16           So again, one of the biggest public  
17 customers that SDG&E has is the Navy. So they're  
18 a federal agency and they have their own way of  
19 doing business that we have to address. Then we  
20 have the state agencies. Then moving down the  
21 line, we will have all the different local  
22 governmental agencies that we work with. So when  
23 we work with our public agency, it's a  
24 combination of providing them with incentives and  
25 rebates, technical assistance and so forth. But

1 at the same time, especially for local government  
2 agencies who have Climate Action Plans, we have  
3 partnerships which are focused primarily on them  
4 working towards their Climate Action Plan goals.  
5 Okay.

6           So as we move forward with the public  
7 sector, we will want to understand better how  
8 each of these areas work. So the federal --  
9 SDG&E has had a longstanding relationship with  
10 its federal military installation over time since  
11 the '90s, and we've been very successful with  
12 that. Currently, we have local government  
13 partnership with major -- our county and the  
14 major cities of our county. And so we've made a  
15 lot of progress on their Climate Action Plans.  
16 And then we have the different institutional  
17 partnerships that we have with the UC, CSU, and  
18 other state agencies. So we're going to continue  
19 to focus on this.

20           Overarching on this whole business plan,  
21 as I said, is the third-party implementor. So we  
22 talked about maybe looking at, and I think Alison  
23 mentioned this, looking at streamlining  
24 administration costs, avoid duplication of costs  
25 to increase the cost effectiveness of portfolios.

1 And so hopefully with the combination of  
2 statewide programs and third-party  
3 implementation, we can actually look forward to  
4 an increased cost effective portfolio to deliver  
5 these savings, since we do have a lot of  
6 challenges in terms of meeting cost  
7 effectiveness.

8           So again, if you go through the rest of  
9 the slides, they're about the industrial and the  
10 ag sector, which I'll cover later on. So  
11 hopefully I caught you up.

12           Thank you.

13           MS. RAITT: Great. Thanks. Great.

14           Next is Ryan Bullard from Southern  
15 California Edison, excuse me.

16           (Colloquy)

17           MR. BULLARD: Hello. I'm Ryan Bullard.  
18 I am a Senior Adviser with the DSM Planning and  
19 Integration Group with Southern California  
20 Edison. Thank you to the Commissioners and all  
21 the stakeholders for being here today to talk a  
22 little bit about the energy efficiency business  
23 plans.

24           I just was given an instruction I  
25 ignored. Okay.



1           This slide, I will not spend much time  
2 on. We're Southern California Edison. We're in  
3 the bottom half of the state, minus SDG&E down  
4 there. And this slide is really to kind of focus  
5 on the fact that, you know, we've been doing  
6 energy efficiency for a significant period of  
7 time and have delivered a lot of energy  
8 efficiency savings.

9           But I think the important -- oh, wrong  
10 button -- note is that these business plans are  
11 really sort of the next evolution in providing  
12 energy efficiency savings for a lot of our  
13 customers in the State of California. So we're  
14 glad to see that the business plans were just  
15 approved in the -- I think it was like last week,  
16 funding through 2025. So I'll kind of go over  
17 the general overview of the business plan here in  
18 the next four or five slides and the major  
19 drivers that are going into affecting Edison's  
20 business plan.

21           I think that the top bullet here that we  
22 all have kind of touched on before is the idea of  
23 achieving cost effective energy efficiency  
24 savings. And a lot of the major touch points and  
25 strategies within the business plan focus on

1 streamlining a number of offerings, utilizing  
2 more cost efficient delivery pathways where  
3 possible, but also leveraging the AMI data, now  
4 that we're getting our arms around it a little  
5 bit better for either meter-based measurement,  
6 but also targeting to see -- make sure we're  
7 talking to the customers that have the  
8 opportunity for energy efficiency savings, rather  
9 than knocking on doors of people who don't need  
10 it.

11           As a result of this, and not just as a  
12 function of how codes and standards or baselines  
13 have changed, I think that there's another side  
14 of consideration here that the avoided cost  
15 benefits associated with energy efficiency have  
16 changed dramatically since this portfolio was  
17 started. The 2018 Potential Goals Study saw  
18 avoided cost benefits drop by over 30 percent  
19 associated with this, which provides extreme  
20 pressures on cost effectiveness challenges.

21           And as a result of that and the other  
22 existing market condition, we're probably going  
23 to see very dramatic shifts in the composition of  
24 the portfolios over time. I think Athena touched  
25 on this a little bit earlier; right? But

1 specific -- or especially Edison's focus on  
2 lighting technologies, definitely going to see a  
3 decrease in that across the portfolio, not just  
4 in the residential sector, but also the  
5 commercial sector, as well.

6           There's obviously this increasing focus  
7 on behavioral retrocommissioning and operational  
8 offerings and figuring out how those can work  
9 side by side with other widget-based solutions  
10 and how we can deal with the accounting issues  
11 associated with that.

12           So another point is about how cost  
13 effectiveness is really impacting, when you look  
14 at this from a portfolio perspective about non-  
15 resource or market transformational activities,  
16 we sort of have one bucket of funds that judge --  
17 is judged for cost effectiveness, and as we look  
18 at market transformation in our low-resource  
19 activities, how those sort of interact and affect  
20 our Resource Acquisition Cost Effectiveness  
21 Program.

22           So at the end of the day, these are about  
23 customer-facing programs. And obviously the  
24 biggest thing that should be taken into  
25 consideration is the customer shift to time-of-

1 use rates, how can we use these programs to  
2 educate them, support them and give them the bill  
3 management tools that they need?

4           But as Alison touched on, the EE  
5 potential goals is only one portion of SB 350 and  
6 the energy efficiency side of the -- from what  
7 the IOUs are going to be doing. Edison has also  
8 released its Clean Power and Electrification  
9 Pathway that kind of provided a sort of a  
10 framework and a pathway to look at how SB 350,  
11 and equally important, how your SB and AB 32  
12 goals could be achieved in looking at it from a  
13 cross-sectional greenhouse gas perspective,  
14 rather than a silo of energy efficiency-only  
15 perspective.

16           Man, I'll learn by the end of this.

17           So as a part of the changing environment,  
18 and Athena touched on this early, is this  
19 expansion and reliance on third parties. We're  
20 really looking for innovative solutions in our  
21 portfolio and looking at how we can increase the  
22 concept of pay-for-performance that was,  
23 actually, partially enabled by SB 350 to kind of  
24 help support the realization rates necessary to  
25 make sure that we're funding programs and not

1 finding out after the fact that the savings is or  
2 is not there.

3           Obviously, we've touched on this with all  
4 the other IOUs, as well, but increasing access to  
5 energy information. We're going to be moving  
6 also to, obviously, the statewide administration  
7 of programs to hopefully increase economies of  
8 scale and be able to leverage a sort of single  
9 point of contact and consistency statewide to  
10 support market adoption for customers.

11           I think it's important to note that we're  
12 looking across all the tools in our tool belts to  
13 help support customer adoption and market  
14 transformation more feasible, whether that's  
15 emerging technologies, introducing it into the  
16 mass market in through programs, or ultimately  
17 putting into a codes and standards.

18           And so the business plan is only 314  
19 pages long, so it's a nice read if you're  
20 interested. But I took a little smattering of  
21 strategies and tactics to kind of give you a  
22 flavor of each sector's sort of high points,  
23 talking about what kind of things you could look  
24 forward into there, about what offerings we're  
25 looking for and what specific interventions are

1 addressing which barriers.

2           The residential sector, there's an  
3 increasing reliance on the behavioral  
4 performances that Halley pointed out earlier.  
5 But we are also looking at sort of targeted and  
6 pay-for-performance-type models for replacements  
7 of maybe whole-home offerings or other types of  
8 offerings. I don't want to make you confused.  
9 I'm not designing, delivering or implementing a  
10 program up here. I'm just giving you an example.

11           And so the other sectors that kind of all  
12 have some cross pollination is the commercial,  
13 industrial and agricultural sectors in terms of  
14 different types of customers have different  
15 technical expertise. And being able to deliver  
16 the right offering at the right time and making  
17 sure that we have a way to reach some of the  
18 smaller customers that may struggle with  
19 participating in our programs, I think strategic  
20 energy management, I put that in there, it's sort  
21 of something that was running in parallel to the  
22 business plan developing, of how we're going to  
23 introduce operational, behavioral,  
24 retrocommissioning savings alongside a widget-  
25 based performance in the industrial sector, and

1 figuring out how we can make pay-for-performance  
2 and meter energy -- metered energy consumption as  
3 usable as possible, as simple as possible for our  
4 customers to make sure we can capture stranded  
5 potential and use existing baselines and just  
6 expedite the process in general.

7           And for our public sector, I think Athena  
8 touched on this, as well, talking about how we  
9 can support them in leading by example, helping  
10 them with the different types of efforts that  
11 they're working through now, whether it be  
12 benchmarking to identify facilities that they  
13 need to target as part of their long capital  
14 investment time frame, and being able to work  
15 with them as they develop their Climate Action  
16 Plans, whether that's data access for them or  
17 data access for their communities. And also, we  
18 have a reliance on the cross-cutting portion of  
19 our portfolio codes and standards, emerging  
20 technology and, of course, workforce education  
21 and training.

22           As a part of the market transformational  
23 efforts, I like to kind of point out a lot of  
24 those strategies actual were leveraged and pulled  
25 from the AB 758 Existing Building Energy

1 Efficiency Action Plan to kind of cite and sort  
2 of consolidate best practices.

3 I think it's also important to note that  
4 we've had a lot of success actually in market  
5 transformation. Our programs themselves are  
6 performing market transformation. We have  
7 already seen a significant amount of success. I  
8 love to use lighting, because I actually read  
9 that EMNE (phonetic) report that LED prices were  
10 declining 16 percent year over year and kind of  
11 seeing those real effects on the market based on  
12 our programs and other market effects, as well.

13 So as I mentioned earlier, there are  
14 challenges with market transformation today as we  
15 look at how it fits in and how to right size it  
16 in the portfolio, given different resource  
17 constraints. And obviously tracking market  
18 transformation indicators or where we are in  
19 terms of progress is, obviously, a vital  
20 discussion about metrics. And how we kind of  
21 track our progress across the portfolio, I think  
22 that they all touched on this already, that these  
23 are sort of developing in real-time still, even  
24 though that they've largely been sort of defined,  
25 for the most part.



1           And, of course, leveraging best data  
2 where possible, where available, I think that  
3 there's some extremely challenging things that we  
4 do struggle with today that, hopefully, we can  
5 kind of figure out in the future. And one of  
6 the, of course, focal points is around  
7 disadvantaged communities, and we will be  
8 tracking metrics around that. And it's also  
9 important to note that disadvantaged communities,  
10 EE is only one small portion of it and it does  
11 span across multiple proceedings. And we've kind  
12 of put in here our electrification pilot project  
13 for the San Joaquin Valley, just as another  
14 example of that.

15           So with that, I think I finished under  
16 time. Here's my contact information. And I will  
17 sit down, waiting for questions.

18           MS. RAITT: Thank you. So next is Erin  
19 Brooks from Southern California Gas.

20           MS. BROOKS: Thanks. Good morning. I'm  
21 Erin Brooks, the Regulatory Policy and Reporting  
22 Manager for SoCal Gas in our Customer Programs  
23 and Assistance. I have the benefit of going  
24 after everyone on this panel, and so much of what  
25 I'm going to discuss today will likely be

1 repeated. But what I will try to focus on for  
2 the benefit of our time is what sets SoCal Gas  
3 apart and highlight what we have in common with  
4 others.

5           So you're all familiar with SoCal Gas.  
6 We are the largest natural gas company in the  
7 country. We deliver clean, reliable, safe energy  
8 to over 21 million customers. We are very  
9 excited that our business plans were approved on  
10 May 31st. And something that was, you know, a  
11 common theme across all of the PAs that have been  
12 presented today, program administrators, is that  
13 we're all looking to simplify our offerings to  
14 make energy efficiency a much -- more accessible  
15 to our customers in order to get the -- target  
16 these deeper savings and to jump twice as high,  
17 as it were.

18           One of the things that sets SoCal Gas  
19 apart is, as Alison mentioned earlier, we are  
20 increasing our budget over time and forecasting  
21 those efforts in recognition that energy  
22 efficiency savings will be more challenging to  
23 come by as we go forward as we have, you know,  
24 targeted a lot of that low-hanging fruit and  
25 we're looking for these innovative solutions from

1 the marketplace, but we think that that will  
2 require some additional investment on our part.

3 Here we go.

4 So our business plan is also 500 pages,  
5 some light reading in case you have some extra  
6 time on your hands, but we'll give you a very  
7 high-level overview today.

8 Some of our key goals that we discussed  
9 earlier is really targeting the long-term  
10 delivery of energy efficiency savings through  
11 products and services that customers would  
12 install, as well as energy efficient operations  
13 and practices, so looking more towards behavioral  
14 interventions and operational strategies. But we  
15 really want to, again, meet our customers' needs  
16 through simplified offerings.

17 We also want to recognize that as a gas-  
18 only utility, we can't do this alone. David  
19 Jacot mentioned earlier that SoCal Gas and LADWP  
20 partner. We also partner with the 17 electric  
21 utilities that are in our territory. We also  
22 partner with water utilities to deliver really  
23 comprehensive solutions to our customers to help  
24 target gas, electricity and water savings to  
25 really raise the value proposition to make these

1 investments on a comprehensive scale.

2           So I think this slide really sums up what  
3 we've been hearing today and how we really get to  
4 these SB 350 goals. We're going to need new  
5 program models to scale cost effective and  
6 streamline the experience. That includes our  
7 pay-for-performance approaches that we've been  
8 discussing, strategic energy management,  
9 normalizing energy consumption, as well as maybe  
10 some unique financing opportunities to reduce the  
11 reliance on our traditional incentive models.

12           We also will do increased collaboration  
13 with the energy efficiency industry. So as we  
14 transition our portfolios to more third-party  
15 designed, delivered and implemented, we're  
16 looking for that innovation from the market to  
17 help us target those deeper savings.

18           And then finally, targeting our customers  
19 using our interval data analytics. So we have  
20 our advanced meter networks that SoCal Gas  
21 finished at the end of 2017, so now all of the  
22 utilities have this ability to target our  
23 customers who have higher energy usage or  
24 specific energy needs, and also to the locational  
25 targeting so we can deliver specific energy

1 efficiency benefits in areas where there is grid  
2 constraint or pipeline constraint, as it were, so  
3 we can do some better targeting to get those  
4 deeper savings.

5           This slide is very overwhelming, but it  
6 really highlights that we have our five sectors  
7 that we've discussed, along with the cross-  
8 cutting efforts, like our codes and standards,  
9 workforce education and training, financing. And  
10 our goals in each sector are very well described  
11 in our business plan, but essentially we want to  
12 achieve our SB 350 goals, our goals that are set  
13 by the Public Utilities Commission, and really do  
14 the best for the customers under the plan.

15           So how do we get there?

16           The business plan has proposed a bunch of  
17 different strategies. And I look at this as sort  
18 of tools that are in this toolbox that we can all  
19 leverage in order to help target our customers  
20 and achieve these savings. So some of the  
21 strategies that we propose are things like  
22 partnering, and that's not only partnering with  
23 different fuel providers, electricity, water and  
24 gas, but also partnering with the customers  
25 themselves and their management teams. We have

1 intelligent outreach which is leveraging our  
2 advance mater network. We have technical  
3 assistance strategies, incentives, financing,  
4 direct install.

5 All of these things are tools that we can  
6 use and that our third parties can use to help us  
7 propose, design and deliver programs. These are  
8 not comprehensive by any means. But based on our  
9 experience and running our portfolio over the  
10 past 25 or more years, these are the things that  
11 we are looking toward in the future as some  
12 potential good strategies to give leverage.

13 Some of the trends that we're seeing are  
14 a lot of opportunities. We have a lot of new  
15 construction gaining momentum. If you have been  
16 to Downtown L.A. recently you cannot look out a  
17 window without seeing a bunch of cranes. And so  
18 LADWP and SoCal Gas are really focusing on new  
19 construction. We have a lot of legislative  
20 mandates that are helping drive progress in this  
21 area. SB 350, as we're here today to discuss,  
22 but also AB 802 which allows us to target below-  
23 code savings, and AB 793 which leverages energy  
24 management technologies.

25 We also have an increase in multifamily

1 new construction. You know that the trend in the  
2 housing sector is going in that direction, and so  
3 we need to develop specific solutions to target  
4 that customer base.

5           And we have some challenges in our rural  
6 areas. SoCal Gas does cover the San Joaquin  
7 Valley and other more rural parts of Southern  
8 California. Where we have recession, it still  
9 persists. And making sure that the energy  
10 efficiency investment is a great value to the  
11 customer is a challenge that we're still facing.

12           And then we have a lot of very unique  
13 segments. We have a really diverse service  
14 territory with a lot of different needs. And so  
15 we're looking to, again, try to streamline our  
16 offerings to make it simpler for the customers to  
17 participate, and we are looking for those ideas.

18           So another eye chart for you all. This  
19 really outlines, basically, those tools that I  
20 discuss in our toolbox and where they can be  
21 applied, from our perspective, in each of these  
22 sectors. And the takeaway from this slide is  
23 they can be applied everywhere. So maybe not  
24 technical assistance in the residential sector,  
25 but if you have those ideas, bring them forward.

1 And maybe not SEM, strategic energy management,  
2 in residential, but otherwise we think that  
3 there's a lot of opportunity to have creative  
4 proposals, leveraging all of these strategies in  
5 each of the sectors.

6           So some examples that I will just go  
7 through very quickly. In our residential sector,  
8 again, the IOUs are tasked with being the  
9 determiners of need of our portfolio and  
10 highlighting where we believe there are  
11 opportunities, and then looking to the  
12 marketplace to provide those solutions. We will  
13 also be providing some of these programs, as  
14 well, in the future, depending on how the market  
15 provides those opportunities to us. Our plan or  
16 our mandate is by the end of 2022 to have our  
17 portfolios be at least 60 percent delivered by  
18 third-party providers. But to the extent that  
19 that would be greater than that, then we are  
20 looking forward to those opportunities.

21           But in the residential sector, again,  
22 we're looking for whole-building solutions, and  
23 maybe some energy management technologies  
24 leveraging our 8793 offerings.

25           In industrial, we recognize that the



1 industrial sector is segmented based on the kinds  
2 of industry that there are. So like food  
3 processing may be different than refineries,  
4 which would be different from much smaller  
5 industrial facilities. And there might be  
6 different approaches warranted for each of those  
7 spaces.

8           In the commercial sector, we're looking  
9 for disadvantaged community outreach, and also  
10 some segment-specific solutions, like retail,  
11 food service, and mixed-use buildings.

12           In ag, we look very much at urban farming  
13 and greenhouses. I'll talk a lot more about that  
14 when think through industrial and ag.

15           And then lastly, this public sector  
16 which, as Athena mentioned, is separated from the  
17 commercial sector for really the first time  
18 starting this year, where were affording it a  
19 more special focus based on the needs of those  
20 customers. So often, public sector customers are  
21 on a different fiscal year. They have different  
22 approval requirements. And so acknowledging the  
23 needs of those customers will be helpful and  
24 really important as we encourage them to make  
25 these energy efficiency investments.

1 I'll quickly talk through market  
2 transformation and behavioral strategies.

3 SoCal Gas offers a few behavioral  
4 programs now. 2018 is the first year where we've  
5 been offering home energy report in the energy  
6 efficiency portfolio. When we did our AMI  
7 rollout, the advance meter rollout over the  
8 course of the last several years, our behavioral  
9 programs sort of lived in that area until the  
10 advanced meters were completely installed. And  
11 once the installation happened we took those  
12 programs over in our portfolio. So that's new to  
13 energy efficiency starting in 2018.

14 And we are delivering over -- or we're  
15 targeting delivering over a million home energy  
16 reports in 2018, which is around 20 percent of  
17 our residential customers. And we will be  
18 ramping that up going forward, consistent with  
19 the potential and goals study.

20 We are also offering a seasonal savings  
21 program in which we partner with Nest. I think  
22 Marin Clean Energy offers a similar program where  
23 Nest will adjust the thermostat for the customer  
24 very slightly to achieve these savings without  
25 bothering the customers comfort in the home, so

1 it's a really neat program.

2           And we have some Prop ZNE pilots that are  
3 taking place, which I will also describe here.  
4 There are four pilots right now at various  
5 schools in Southern California, looking at roof  
6 insulation, thermal retrofits, windows  
7 improvement. We have solar installations. Some  
8 of these are partnered with Southern California  
9 Edison, but they are in flight right now. And we  
10 are looking forward to how these school districts  
11 adopt the ZNE strategy and how we can support  
12 that going forward.

13           And then lastly, I'm going to talk about  
14 the disadvantaged communities and how we're going  
15 to report and track that. I think it was Halley  
16 that talked about this earlier, how we have lots  
17 of metrics in our business plans where we're  
18 going to evaluate the progress in our various  
19 sectors. And we want to be able to track  
20 specifically our interventions in disadvantaged  
21 communities in our territory. So we're going to  
22 look at things like our first year savings in  
23 these areas, the number of customers who are  
24 participating, and those who are kind of hard to  
25 reach, and hopefully tool some specific

1 interventions in order to achieve greater  
2 participation in those areas.

3           In SoCal Gas territory around a third of  
4 our customers are qualified for CARE programs and  
5 ESA. That does not mean that they are  
6 automatically considered disadvantaged  
7 communities. We know that there's the  
8 CalEnviroScreen tool that we use to identify  
9 those areas, but there is a significant overlap  
10 in Southern California for those customers. And  
11 we want to make sure that they have increased  
12 access to energy efficiency where it's really  
13 important.

14           And that is my presentation. Off to the  
15 panel. Thank you.

16           MS. RAITT: Go ahead.

17           MS. FISHER: Hi. This is Anne Fisher  
18 with the California Energy Commission again. I  
19 just want to say a thank you to all our  
20 presenters for coming out today and sharing with  
21 us. And now we're going to transition to the  
22 panel discussion.

23           Our first question for the panel  
24 discussion is: Which energy efficiency programs  
25 do you administer that have resulted in the

1 highest energy savings? Are there ways to  
2 transfer these successes into programs targeting  
3 sectors that have not achieved as much savings,  
4 such as the industrial and agricultural sectors?

5 And I'd like to have Erin Brooks from  
6 SoCal Gas start us off with this discussion.

7 MS. BROOKS: Sure. Hi. So for SoCal  
8 Gas, our industrial sector is really the largest  
9 contributor to savings in our portfolio, outside  
10 of codes and standards. And within that sector  
11 the food processing segment is really important,  
12 which I'll go into a lot of detail about that  
13 later this afternoon.

14 But I think what we're looking forward to  
15 when it comes to transitioning successful  
16 strategies into industrial and ag, as well as  
17 across our portfolio, kind of the three things  
18 that I hit on earlier. So pay-for-performance  
19 programs, that will really simplify the offering.  
20 Instead of making customers go through this  
21 process where we're verifying specific widgets  
22 are installed or going through the customer  
23 review, if we're looking at normalized metered  
24 energy consumption data and being able to see the  
25 savings that are realized at the meter, and then

1 pay the customers or pay the implementors based  
2 on those savings, we think that that's the  
3 simplest, a simple approach that can be really  
4 expanded, especially in industrial and ag.

5           We also think the Strategic Energy  
6 Management Program for the industrial sector is  
7 going to be really key, which we're launching  
8 now. And we'll take those learnings and expand  
9 that beyond industrial as is appropriate.

10           And then the last piece is the interval  
11 data, so leveraging our advance meter network,  
12 leveraging the networks of the other utilities,  
13 so that way we can target customers with the  
14 highest usage or in the specific locations where  
15 energy efficiency need is greatest. That ability  
16 is sort of unprecedented until now and we're  
17 really looking to tap into it.

18           MS. FISHER: Okay. Thank you.

19           COMMISSIONER MCALLISTER: Can I ask a  
20 quick question, just before we get to everybody  
21 else, just so you can keep this in mind?

22           And so industrial is brought up a lot,  
23 which is great because that's been a big gap, I  
24 think, for a number of years. And that's --  
25 there's a lot of potential, and I think

1 particularly in gas, but all across the board, so  
2 that's great.

3           And then several of you brought up pay-  
4 for-performance and I want to ask kind of a nuts  
5 and bolts question about that. And maybe each of  
6 you when you're talking about that or other  
7 things, is there a methodology discussion  
8 happening about pay-for-performance? And, you  
9 know, there are a lot of details to that. And I  
10 think, you know, it's really the Energy  
11 Commission's job. I mean, obviously, you know,  
12 in the IOU, it's the POU -- it's the portfolio,  
13 but it's really a statewide issue, particularly  
14 wherever there's AMI, but really, it's a  
15 statewide issue, period, so -- and we have to  
16 have consistency. And it's also relevant for the  
17 forecast, and it's certainly relevant for the  
18 IRPs.

19           So I'm wondering if each you could sort  
20 of tell us where you are in terms of what it  
21 means to run a pay-for-performance program. The  
22 performance fees; how do you know and how do you  
23 plan to sort of put that in place and get some  
24 consensus about the methodology?

25           MS. BESA: Thank you for the -- thank you

1 for your question, Commissioner.

2 I think that, as you said, industrial has  
3 been the most challenging sector for a long time.  
4 And a lot of it has to do with the challenge of  
5 measurement and verification because of the issue  
6 of establishing baselines and trying to assess  
7 the impacts of these modifications through their  
8 changes in their production levels, which then  
9 has an impact ultimately on what their final  
10 energy usage is, which may or may not have to do  
11 at all with the energy efficiency aspect of the  
12 project. And so, and as probably most people  
13 know, industrial was exempted from the NMEC  
14 opportunity or the normalized meters analysis  
15 precisely because of these reasons.

16 And so in terms of doing pay-for-  
17 performance, I think that, first of all, we  
18 understand in a broad way that pay-for-  
19 performance is you say you're going to deliver  
20 savings of X, we do some type of measurement  
21 verification that we agree to, and we then drew  
22 up the payment based on that. And there's a lot  
23 of nuances between that.

24 So the most challenging thing is actually  
25 agreeing to a measurement and verification plan



1 in order to have an effective pay-for-performance  
2 program, one that is fair to both the ratepayer  
3 that we represent, and also the implementor, who  
4 in, you know, in good faith is actually  
5 implementing a project. And many things can  
6 happen to the customer in the process that has  
7 nothing to do at all with the project itself.  
8 And so trying to determine after the fact what  
9 you can tease out belongs to the project itself  
10 versus just operational changes is challenging.

11           So I think that the Commission, the  
12 Public Utilities Commission approving a strategic  
13 energy management plan approach, the study has  
14 actually developed a good measurement plan for  
15 the industrial sector that hopefully we can  
16 extend to the commercial sector. And they're a  
17 lot more predictable than --

18           COMMISSIONER MCALLISTER: Uh-huh.

19           MS. BESA: -- the industrial sector.  
20 It's a good start to do this from that  
21 perspective.

22           COMMISSIONER MCALLISTER: And then I  
23 probably wasn't clear. The pay-for-performance,  
24 I think, has potential across the board, not just  
25 with industrial, but -- so they're really two

1 separate issues.

2           But that's precisely why I asked the  
3 question, is that who's going to have that --  
4 who's going to drive that conversation so that  
5 it's not piecemeal, so that it's not contextual,  
6 entirely contextual, so it's not, you know,  
7 customer-specific necessarily, but it operates  
8 under some actual guidelines that are consistent  
9 across the state? Because that -- you know, if  
10 we want rigor and if we want to really know,  
11 we've got to decide on the methodology.

12           So I want to, well, I want to move on to  
13 some others on this, but -- and let them answer,  
14 also, Anne's question.

15           MS. BROOKS: Well, Commissioner, if I can  
16 respond?

17           The CPUC is addressing pay-for-  
18 performance and normalized metered energy  
19 consumption. There was a ruling a month or so  
20 ago where parties all responded and provided  
21 input, so that regulatory process is happening.  
22 But we are very interested in standardizing the  
23 approach for a calculation, and based on the  
24 kinds of customers we're applying it to and the  
25 level of review that's necessary by the CPUC

1 versus the program administrators versus the  
2 evaluation after the fact. So it is that -- that  
3 work is underway.

4 MR. CALLAHAN: This is Mike Callahan with  
5 MCE.

6 I just wanted to add, I think that we're  
7 hoping the normalized metered energy consumption  
8 will help that across all sectors in terms  
9 standardizing the measurement. I think there's a  
10 separate conversation to be had that may not need  
11 to be standard but more about best practices in  
12 terms of how you structure those incentives. So  
13 we're hopeful for conversations in both of those  
14 areas.

15 MR. JACOT: David Jacot, LADWP.

16 We certainly have the AMI issue for the  
17 vast majority of our smaller customers, but our  
18 large commercial customers have been on TOU for a  
19 long time, so we have the capability there.

20 We have built into our customer  
21 performance program EONV (phonetic) protocols or  
22 monitoring verification, EM&V protocols, for  
23 projects -- and criteria for projects over a  
24 certain size or amount of complexity or an  
25 emerging measure that there's still a lot of

1 uncertainty around. And so we do, on those  
2 projects, six months of monitoring verification.

3           What we'll typically do is pay half the  
4 incentive up front and then -- because that gives  
5 us some cash flow on the projects in return. And  
6 then at the end of the period, we'll true up the  
7 numbers and if the savings are more than  
8 expected, we'll recalculate the incentive and pay  
9 out the balance. If they're less than expected,  
10 we'll recalculate the incentives and pay the  
11 lesser balance. So we do that. Now the next  
12 step -- so that's on a project-specific basis and  
13 for large, complex applications.

14           The next stop -- the next place to extend  
15 that to is when we have full AMI, all customers.  
16 Then we can start doing this, you know, and the  
17 NMEC approach can really take root over -- you  
18 know, you know, take hold of a lot more of our  
19 projects and our customers, but it's just a --  
20 but it -- and it's another case of where we're  
21 late to the party, but by the time we get there  
22 all the up-front trial and error work, hopefully,  
23 will have been done and paid for by somebody  
24 else, and then we can just choose what works and  
25 run with it.

1 MS. FISHER: All right. Thank you.

2 MS. LABONTE: Yeah, I was just going  
3 to -- this is Alison, CPUC. And I just want  
4 to -- I hear that it's important to have measures  
5 or consistent guidance. However, I think for  
6 something as new as pay-for-performance and  
7 structuring and new incentive models, these  
8 earlier efforts in hearing from the community  
9 what pay-for-performance incentives may work and  
10 understanding that it may not be a one-size-fits-  
11 all is important. And especially with emerging,  
12 how we're going to have to evolve and bring new  
13 emerging technologies and strategies to bear over  
14 the course, through 2030, we'll need to allow for  
15 pay-for-performance incentive models to evolve,  
16 as well.

17 COMMISSIONER MCALLISTER: Yeah, for sure.  
18 For sure. And we've funded, you know, at the  
19 Commission, we've funded quite a bit of research  
20 on that. I think it formed the basis for some of  
21 the work that's going on at the utilities. And I  
22 want to give PG&E kudos, actually, for some of  
23 the smaller customer, you know, aggregated pay-  
24 for-performance work that you guys have been  
25 doing.

1           MR. FITZPATRICK: Thanks. This is Halley  
2 from PG&E. I'll take that as a queue to expand  
3 on that a little bit, a little bit maybe  
4 beyond -- I'd like to speak for a moment beyond  
5 pay-for-performance towards customers and think  
6 about, we're also looking at pay-for-performance  
7 on implementors. Because as was brought up  
8 earlier today, we're moving to 60 percent third-  
9 party design, proposed, implemented programs, and  
10 how do we remain cost effective under that model,  
11 also, and how do we make sure the risk is  
12 balanced?

13           One of the first things is defining what  
14 performance is. I think a lot of times we think  
15 about pay-for-performance in the context of pay-  
16 for-energy-savings performance. But our -- the  
17 energy savings make up, actually, a relatively  
18 small number of our total metrics that we need --  
19 that we're tracking to in California, some of  
20 them, not the least of which are in disadvantaged  
21 communities. So I just -- this is a friendly  
22 reminder that there's a lot more to performance  
23 than just delivering energy savings.

24           And I think one of the things that we  
25 might even be exploring as we're really

1 challenged with cost effectiveness is do we pay  
2 for cost effectiveness? Is that a performance  
3 metric that we reward implementors on, for  
4 example?

5           But most importantly with -- if you're  
6 going to be paying for performance, it's  
7 important that that performance itself is  
8 measurable and it's understood by all parties  
9 involved before you enter a program, before you  
10 enter an intervention, to avoid contention and  
11 make sure that all success is defined for all  
12 parties.

13           COMMISSIONER MCALLISTER: Anne, why don't  
14 you go ahead and -- sorry.

15           MS. FISHER: Okay. Thank you.

16           COMMISSIONER MCALLISTER: Sorry to steal  
17 your time there. Go ahead.

18           MS. FISHER: Our second question is:  
19 What new strategies are you planning to achieve  
20 setting energy savings mandate under SB 350?

21           And I will move it over to Ryan.

22           MR. BULLARD: Thank you. I imagine you  
23 can guess which acronyms are going to come out of  
24 my mouth next, like pay-for-performance, PFP and  
25 NMEC and meter-based measurement. I think that's

1 really going to be the areas of growth.

2           I think the best example that I can  
3 probably point to is like in the 2018 Potential  
4 Goals Study, widget-based savings only goes up 20  
5 percent through 2030, but behavioral goes up 300  
6 percent; right? A lot of that is, obviously, the  
7 home energy reports, the particularly specific  
8 measure, but it goes into a whole bunch of other  
9 types of different activities. So I think that  
10 that's going to be something we have to keep our  
11 eye on and really look at it and define how cost  
12 effectiveness and incentives are really driving  
13 those sorts of payments. Because I really think  
14 that a lot of the devils are in the details, like  
15 how do you define e-wells (phonetic)? And, you  
16 know, can you do 100 percent pay-for-performance,  
17 or is it 75 percent time and materials?

18           So as we work through those types of  
19 nuances, I guess we'll get a better grasp on what  
20 type of market potential is real and achievable.

21           Another area to kind of point out is sort  
22 of the conversations around EE and DER (phonetic)  
23 integration happen, kind of seeing where we can  
24 see joint benefits across these resource types  
25 and leverage programs that can actually help



1 customers save energy, and also shift energy  
2 around for TOU purposes or be event response  
3 driven. So those can be a growing area of  
4 importance.

5 MS. LABONTE: To follow on that but paint  
6 a bigger, broader picture of opportunity from the  
7 CPUC lens, then new -- you know, a new strategy  
8 that I don't think I emphasized as much in my  
9 talk as I'd like to is the third-party  
10 solicitations. And I came from a background of  
11 running enterprises in the federal government and  
12 bringing new entrance. And allowing an  
13 innovation space creation from a completely new  
14 perspective can really be a big win. And there's  
15 a need here from the CPUC perspective, if we're  
16 going to -- it's high risk, that's what you take  
17 or have to accept along with that.

18 But we need to, therefore, put in place  
19 and be watching carefully that as the first round  
20 of solicitations go out, we're breaking down the  
21 barriers or making sure that we're learning from  
22 each next round that we are inviting those new  
23 actors with new innovative designs of energy  
24 efficiency programs to bring to the table for  
25 each of the program administrators those ideas to

1 reap the benefit from.

2           So that's going to be a big focus of the  
3 CPUC. And the new strategy is to ensure that we  
4 give it the fair chance that it deserves. And it  
5 could really pay off big, but we have to make  
6 sure that we are actually inviting and allowing  
7 for those new ideas to come to bear.

8           COMMISSIONER CHOPER: I'd just like to  
9 chime in this one a little bit. David Jacot,  
10 LADWP.

11           We see the electrification that I  
12 mentioned earlier in my presentation as opening  
13 up vast new energy efficiency opportunities,  
14 space heating and water heating. There's heat  
15 pump technology that's emerged (indiscernible)  
16 still costly (indiscernible) come down. But  
17 versus an electric resistance option baseline,  
18 energy savings are tremendous. That will be an  
19 EE measure, even if it is, to some extent, fuel  
20 switching, as well, because it's to the extent it  
21 sees market adoption.

22           The other salon (phonetic) even more  
23 interesting to me is on the transportation side.  
24 So with electrifying transportation, anything  
25 that gets people -- reduces EMT (phonetic), gets

1 people out of their cars, transit, bike share,  
2 carpooling, or gets them to drive better, better  
3 driving, you know, where they consistently exceed  
4 the performance specs of their car, those are now  
5 energy efficiency measures. Or if they buy the  
6 more efficiency electric car, the one that uses  
7 less fuel, that's something we can incentivize,  
8 as well.

9           So that's part and parcel of how we're  
10 going to get to these ever-growing targets, and  
11 certainly the aggressive ramp that SB 350 has put  
12 forward.

13           COMMISSIONER MCALLISTER: Well, I really  
14 hope that you're successful getting people to  
15 drive better in L.A.

16           MS. ROGERS: This is Cynthia Rogers with  
17 the Energy Commission. I have a question on the  
18 disadvantaged communities.

19           How are you targeting hard-to-reach  
20 populations in disadvantaged communities, for  
21 example, bilingual marketing, working with NGOs  
22 or other community groups?

23           MR. CALLAHAN: This is Mike Callahan with  
24 MCE. I can start to provide a response to that.

25           I think, you know, at a pretty high

1 level, policy is really important in that. The  
2 Commission's decision that approved the business  
3 plans also approved the changed definition of  
4 hard-to-reach customers and it allows  
5 disadvantaged communities to satisfy the  
6 geographic components of that definition, which  
7 makes a big impact, particularly in major  
8 metropolitan areas, those folks who were not able  
9 to meet the geographic component.

10 In terms of our specific work to target,  
11 we use multilingual marketing. We work through  
12 community-based organizations and NGOs for  
13 outreach. We think that's repairing the programs  
14 for the workforce development component that's  
15 geared toward disadvantaged communities. It can  
16 help sort of expand the footprint of the  
17 programs.

18 And as I mentioned before, trying to  
19 ensure that hard-to-reach populations outside of  
20 disadvantaged communities aren't left out. One  
21 of the things MCE is developing now is a heat map  
22 tool that layers in various data sources, census  
23 data, billing data, to try to identify which  
24 communities are most likely to find income-  
25 qualified renters to help us do more targeted

1 marketing to those folks.

2 MR. JACOT: David Jacot, LADWP.

3 You saw our equity metrics effort  
4 earlier, so we're quantifying need and tracking  
5 how we're performing in those areas.

6 To SDG&E's point earlier, we agree, you  
7 know, the EnviroScreen is not perfect, there's  
8 hole. So we make sure our efforts, while  
9 targeted in certain areas, are available across  
10 the city. We have disadvantaged folks, and  
11 certainly in non-disadvantaged communities, so we  
12 need to be able to serve them, as well.

13 Something really interesting that we do  
14 is a Community Partnership Grant Program. And  
15 we've been running this for about six years now.  
16 It's a one-year -- it's basically on an 18-month  
17 cycle, but it's a one-year grant to community-  
18 based organization in each of the 15 council  
19 districts, as well as five or six more that are  
20 citywide. And it's a very diverse base of  
21 community organizations. Liberty Hill has been  
22 one. Gang Alternatives Program, GAP, down in San  
23 Pedro has been one. Pacoima Beautiful. A bunch.  
24 It's, like I said, it's 15.

25 We do a solicitation every year. It's

1 for \$45,000. We're looking to increase that.  
2 But then -- and then the citywide ones are  
3 \$90,000. So that way we've really got this  
4 grassroots set of forces that all right promoting  
5 our programs. They're doing specifically what  
6 they signed up to do. In some cases, they're  
7 staffing neighborhood events, they're knocking on  
8 doors. They're creating media, public service  
9 announcements. We've got some really cool public  
10 service announcements out of the last round. So  
11 that's something that we work with.

12           Obviously, in language, we do -- you  
13 know, everything we do is in language for the  
14 targeted community.

15           And then finally, I would just mention  
16 that L.A. also has its own Sustainable City pLAN.  
17 The Mayor's Office of Sustainability oversees the  
18 pLAN, the p, capital -L, capital -A-n, so the  
19 L.A. pLAN. Anyway, you have to see it. It's  
20 hard to describe, but you have to see it printed.  
21 But anyway, it's a Sustainability pLAN, so it's  
22 loaded with equity stuff, as well. And so we  
23 work very closely with that, that that is not  
24 happening in a

25           DWP's contributions to the elements of

1 that plan have already been mapped. And so  
2 everything we track for our own efforts we can  
3 feed into that process, into that larger effort,  
4 and have it rolled up. So it's not a silo. It's  
5 not siloed in the slightest. It's directly  
6 related. The plan is just bigger than our efforts  
7 because it's the whole city and it's things  
8 outside of our Department of Water and Power can  
9 help with.

10 MS. ROGERS: Great, and thank you.

11 Did anyone else want to add anything? If  
12 not, thank you so much for participating.

13 COMMISSIONER MCALLISTER: Great. Thanks  
14 everybody. I guess, I mean, we have until 12:15.  
15 So, I mean, if you guys want to explore more, you  
16 know, we don't have to break right now. But if  
17 we want a little bit longer for lunch, we're  
18 going to come back at 1:15.

19 So does anybody have any points they  
20 wanted to make that they didn't get in?

21 All right, well, let's have a longer  
22 lunch.

23 MS. RAITT: Okay. And then --

24 COMMISSIONER MCALLISTER: Okay.

25 MS. RAITT: -- if I could just add that

1 if anybody wanted to make comments at the end of  
2 the day, if you can just fill out a blue card,  
3 that would be good, too. Thanks.

4 (Off the record at 12:09 p.m.)

5 (On the record at 1:15 p.m.)

6 MS. RAITT: Okay, folks, we'll go ahead  
7 and get started for our afternoon session.

8 And so our first speaker for the  
9 afternoon is Nicholas Janusch from the California  
10 Energy Commission.

11 (Colloquy)

12 MR. JANUSCH: Good afternoon, everyone.  
13 My name is Nick Janusch and we're going to kick  
14 off our after lunch workshop with our Behavior  
15 and Market Transformation. I'm going to provide  
16 a quick overview to put the -- to kick off the  
17 conversation.

18 And before I introduce our featured  
19 speaker, Dr. Sam Borgeson, but before I do that,  
20 I want to introduce myself. So my name is Nick  
21 Janusch. I received a PhD in Agricultural  
22 Environmental Economics with a focus in  
23 Environmental Economics. And I have a background  
24 in behavioral and experimental economics. And I  
25 was brought on board in February to help really



1 tackle this topic of behavioral and market  
2 transformation. And since I am somewhat new to  
3 this topic, I would really appreciate any  
4 stakeholder feedback to help further along this  
5 conversation.

6           So let's revisit what was done with the  
7 SB 350 Doubling Report. So here is the picture  
8 of the doubling target for electricity. And for  
9 market transformation, when we're looking at this  
10 issue, think of the best data and information  
11 available. We've calculated that or projected  
12 that behavioral market transformation comprises  
13 two percent of total savings. And not shown  
14 here, for natural gas, it's about seven percent.  
15 And within this category, behavioral and market  
16 transformation captures benchmarking, NG asset  
17 ratings, behavioral, retrofitting and operational  
18 savings, smart meters and controls, and fuel  
19 substitution.

20           So now we're revisiting this. We're,  
21 with this conversation and discussion, we want to  
22 have, and think of for future dates, have some  
23 big overarching questions.

24           The first is when we think of behavioral  
25 market transformation are what we are -- with our

1 current methods, what we currently have done, our  
2 analysis, are we capturing all opportunities?  
3 And that's considering everything that's been  
4 conducted within the social and behavioral  
5 sciences.

6           And then with that, with all these,  
7 perhaps, new behavioral strategies and insights,  
8 can we effectively capture, track and report  
9 these savings with confidence?

10           And third, we need to think about  
11 building this idea of thinking behavioral as a  
12 resource, can we, when we think about this  
13 behavioral wedge we were talking about, can we  
14 treat this wedge as a resource when it comes to  
15 forecasting and our supply-side planning?

16           When it comes to this topic are we  
17 adequately capturing the potential of using  
18 behavior as a resource? And I'm not going to go  
19 into details. Here you can see in the  
20 supplemental slides that there's a list of  
21 literature that has addressed this issue. And  
22 when we -- from what I've seen, what I looked at,  
23 there is a large disagreement about the  
24 definitions and interpretation of behavior and  
25 market transformation.

1           And a recent report by the Energy  
2 Commission, authored by Les Heiser (phonetic) and  
3 all, it's titled Advanced REsiden6tial Energy  
4 Analysis Project, he has a more -- they have a  
5 more broader perspective of behavioral and market  
6 transformation. A lot of the focus is on  
7 behavioral change, while they have looking at  
8 things beyond consumer, and that includes all  
9 market participants. It could be vendors,  
10 manufacturers, buildings, builders, regulators,  
11 and everyone.

12           And thinking of all of these things, how  
13 these people's behavior are, are there  
14 institutional barriers that exist that hamper  
15 innovation and hamper our motivation to getting  
16 to our goals? And even with that, there's still  
17 an overarching existing uncertainty and challenge  
18 in valuing behavioral impacts.

19           So I'm excited to have Sam Borgeson to  
20 talk about this. But we also seek further  
21 stakeholder engagement and comments on this  
22 issue.

23           So transition here, so to introduce  
24 today's speaker, Dr. Sam Borgeson is a partner at  
25 Convergence Data Analytics. He received his

1 Doctorate in Energy and Resources at UC Berkeley.  
2 And he has extensive experience within the energy  
3 efficiency sector, worked at Lawrence Berkeley  
4 National Lab for over seven years, and has  
5 consulted for organizations such as PG&E,  
6 Lawrence Berkeley National Lab, and Stanford's  
7 Sustainable Systems Labs.

8           So with that, I'd like to introduce the  
9 speaker.

10           DR. BORGESON: Hello everyone. Am I  
11 coming through?

12           COMMISSIONER MCALLISTER: Yes, we can  
13 hear you.

14           DR. BORGESON: Okay. Great. I need to  
15 apologize because I am out of my house. And my  
16 audio environment of my house, a faulty internet  
17 connection today, but I'm very pleased to be  
18 speaking with you.

19           I did a master's degree in Building  
20 Science before my PhD in Energy Resources. Both  
21 were focused on this question of characterizing  
22 efficiency resource in buildings and trying to  
23 understand the role that buildings have to play  
24 and efficiency has to play in climate policy. So  
25 that's sort of the experience I'm drawing on for

1 this talk.

2 Can someone advance the slide? I guess  
3 I'll say next when I need the slide advanced.

4 Okay. Great.

5 Yeah, so when we think about how to save  
6 energy, I think it's important to recognize that  
7 there's several strategies. And the one that we  
8 talk a lot about in the efficiency community is  
9 the more narrow definition of efficiency, where  
10 you get the same service using less energy, more  
11 efficient equipment, for example. But that's  
12 part of a -- not where all the potential lies,  
13 because there's are substitutions that people  
14 make on desirable that are lower energy. There's  
15 also substitutions that people will accept. I  
16 mean, so that's where you get a slightly  
17 different kind of service, but nevertheless one  
18 that works out.

19 And, actually, a lot of things that are  
20 considered pure efficiency often are some form of  
21 substitution, where there is, in fact, a trade  
22 off. And to the extent that they're desirable,  
23 that people want them, we're in a much better  
24 position than saying, hey, you're going to get  
25 exactly what you used to have.

1           There's also conservation, which a lot of  
2 people in the public conflate with these other  
3 forms of energy savings. And for most people, it  
4 means doing without something that they'd rather  
5 have. But to the extent you're willing to do it,  
6 you tolerate it with some discomfort.

7           But there is another category, which is  
8 waste elimination. And that's just getting rid  
9 of services that aren't being used, that aren't  
10 valued, you know, lights that are on when no  
11 one's in the room, or more importantly, you know,  
12 on all night, you know, in environments like  
13 offices, so there's a lot of examples of waste.  
14 What counts as waste is subjective, however, and  
15 so there's a nice overlap with these questions of  
16 behavior.

17           Next slide please.

18           So this is a summary slide from a broader  
19 body of work on the role buildings have to play  
20 in decarbonization and the climate fight, but I  
21 think it's probably fair to say the specific  
22 motivation behind doubling efficiency. And I  
23 think two of the most important are the top two  
24 here, that if we want to make timely changes, a  
25 lot of those changes have to take place in

1 existing buildings. We all know there's  
2 challenges retrofitting existing buildings. But,  
3 you know, they're also -- they live in the real  
4 world. You know, they're imperfect. There's all  
5 kinds of potential out there when we have  
6 information needed to diagnose them.

7           But the other thing that's very important  
8 in this context is that consumption  
9 characteristics vary extremely widely across  
10 buildings. You can actually exchange buildings  
11 to people there. Consumption is personal. And  
12 even superficially similar customers of utilities  
13 with similar, you know, building characteristics  
14 can use dramatically different amounts of energy  
15 and in very different patterns. And there's  
16 actually a lot of potential for improving program  
17 outcomes in embracing all that diversity.

18           These other issues that I've listed on  
19 this slide are not maybe headline issues for this  
20 particular talk, but I think the bottom one is  
21 worth dwelling on just a bit. I think we don't  
22 know how to achieve all of our goals. And that  
23 means that we have to be prepared to make  
24 mistakes to learn, to do some work that's  
25 interested in a long view, rather than an

1 immediate payback, if you will. And in many  
2 cases, efficiency programs aren't very well tuned  
3 for embracing those types of goals.

4           Next slide please.

5           Okay, so this is about all the many  
6 different ways that we might define behavior.  
7 And I'd just encourage everyone in the room to  
8 think about how different categories of behavior  
9 impact energy use and how they interact with  
10 programs in our larger goals.

11           So there's obviously things like  
12 technology adoption, people's decision making  
13 about what to buy, when to buy it, but also  
14 operations, so how to use it. There's broader  
15 decision making. We're, of course, very  
16 interested in the decision process of enrolling  
17 in programs or succeeding as a participant in  
18 programs. You know, we're also interested in how  
19 people would be behaving absent our programs.  
20 But there's also more complex domains of  
21 behavioral interactions with the energy system.

22           And probably one of the most important is  
23 how, rather than individuals, how organizations  
24 make decisions of energy and about utilities and  
25 the programs that we're offering. Almost every



1 decision about energy is made by more than one  
2 person; right? Like I don't decide anything in  
3 my household on my own; right? I have a family  
4 that is involved in that decision. So even  
5 things that appear personal are mediated by a  
6 form of consensus building. Of course, in big  
7 organizations, big companies, this can be a very  
8 complicated process with, in some cases, sort of  
9 head-scratching results until you start to  
10 understand it from an operational lens.

11           Next slide please.

12           So I think that the -- one of the most  
13 important conceptual shifts that I experienced in  
14 my time doing research on these issues  
15 (indiscernible) the disconnect between the  
16 original motivation, the shape, the design of  
17 efficiency programs. You know, the original  
18 argument for cross containment. This is the  
19 cheapest resource. This is the way to control  
20 costs on the grid, so it's inflected throughout  
21 with all sorts of cross-containment metrics and  
22 language and assumptions. But climate change  
23 mitigation buildings really isn't, narrowly  
24 speaking, best described as a cost-containment  
25 effort.

1           And so one thing I think about our  
2 current efficiency programs and their future in a  
3 much broader context of climate mitigation is  
4 figuring out how to reorient the incentives of  
5 programs, the language of programs, the metrics  
6 of programs, the evaluation of programs to focus  
7 on the types of long-term changes that we're  
8 pursuing in the sort of grid transformation and  
9 climate mitigation push. And that means in many  
10 cases, as I mentioned already, room to fail and  
11 learn, take long shots working towards  
12 innovations.

13           But probably like the nutshell definition  
14 of what we're talking about here is developing,  
15 commercializing and scaling low-carbon and  
16 efficiency technologies. And that's something  
17 that we have a practice of in California, but  
18 it's not where, you know, let's say all of our  
19 time and attention go. But if we're pursuing a  
20 more aggressive efficiency -- set of efficiency  
21 goals, especially with a longer time horizon, I  
22 think we have to have the conversation about our  
23 attitude towards the market transformation goals,  
24 as well.

25           Next slide please.

1           So an important reminder here. We are  
2 ultimately talking about human beings. We all  
3 navigate the world every day trying to understand  
4 what other people want, what they're doing, how  
5 they're doing it. There isn't a clean, simple  
6 model that predicts human behavior. And there  
7 are so many disciplines that have things to teach  
8 us.

9           And when we talk about behavioral  
10 programs, when we talk about behavioral  
11 potential, I just want to caution that it is so  
12 handicapping to rely too heavily on any one view,  
13 any one sort of cartoon explanation of how people  
14 behave. You know, when we want to, you know,  
15 really improve the contribution of behavioral  
16 insights to (indiscernible) of how we achieve our  
17 efficiency goals, we need to draw on lots of  
18 disciplines.

19           And not to make too fine a point of it  
20 but, you know, if we're in a cost-containment  
21 model, of course we're leaning very heavily on  
22 economics to understand our goals and our  
23 outcomes and our views to the extent that people  
24 aren't purely rational actors. Or to the extent  
25 that there's insights in things that are

1 motivating to people outside of the economic  
2 realm, I think we have a ways to go in terms of  
3 fully incorporating those insights into how our  
4 programs are designed and executed. Plus,  
5 fortunately, there's lots of other fields that  
6 give us good examples that we can draw on. So,  
7 you know, were not lost in the woods here. We  
8 can seek inspiration from other practitioners.

9           Next slide please.

10           I actually feel a little sheepish  
11 presenting on behavior in the context of  
12 efficiency to the CEC or in the context of the  
13 CEC because so much of what I know about it comes  
14 from reports that the CEC has produced. This is  
15 just the set from the 2006 to 2008 program cycle.  
16 This was the program cycle that produced a lot of  
17 the literature I was interested in grad school,  
18 so I know it quite well. And I just, I wanted to  
19 thank you for having a long-term outlook and a  
20 willingness to support this type of analysis, and  
21 also public, you know, publication of these types  
22 of insights. I think that's been crucial to this  
23 conversation and moving behavioral programs of  
24 all stripes forward.

25           But it also gives me a little pause

1 because I feel like, well, what else do we need  
2 to do? What don't we know? You know, here's  
3 stuff from 2006. We could go back to the '80s  
4 and the '90s and find extremely confident  
5 researchers providing us guidance, as well.

6           So one of the things that I want to be  
7 mindful of is it's very important that we get the  
8 right information, that we do research and that  
9 we understand it's meaning and apply context.  
10 But I think it's also important that we look at  
11 reasons why that may not be sufficient to make  
12 significant changes, especially when they're, you  
13 know, deep and structural and such, in politics  
14 and power dynamics, and so on and so forth.

15           And so I would just suggest, we actually  
16 know a lot already. And there may be a deeper  
17 set of questions for me to ask if we really want  
18 to reach the potential that some of these studies  
19 are pointing to.

20           Next slide please.

21           So with all of this introduction, I  
22 wanted to propose for you my simply, my  
23 simplified anyway, model of energy behavior, of  
24 how people behave with respect to energy. And  
25 this is my proposal for, you know, the sort of

1 cartoon version of behavior that we should run  
2 our ideas through when we're trying to figure  
3 out, is this something that could work, or what's  
4 missing.

5           So first and foremost, energy is designed  
6 for people. Obviously, the location of energy  
7 conversion is often a piece of equipment, you  
8 know, and it's located within a specific facility  
9 or premise. But let's not lose sight of the fact  
10 that all consumption ultimately, if it doesn't  
11 have a purpose for some person or group of  
12 people, is a waste that is unnecessary. And even  
13 the ones that are automated or even the ones  
14 that, you know, fuel very much for the building,  
15 we need to ask, are the occupants of this  
16 building getting what they need from this? Is  
17 there another way to provide it? And to a lot of  
18 things that -- I see a lot of potential in that  
19 type of interrogation.

20           The other thing, everybody knows this in  
21 their own lives, energy, compared to people's  
22 incomes, most people's incomes, and compared to  
23 the past, energy is quite inexpensive. I know  
24 there's certainly very significant social  
25 problems with the set of customers for whom

1 energy is a very big part of their budget and  
2 people who are struggling to pay their bills.  
3 But across the entire population, energy is a  
4 very small part of people's budgets. Efficiency  
5 savings are there for a small part of their  
6 budgets. And at any rate, people's utility,  
7 right, economic utility is ultimately subjective.

8           And so this is sort of -- this is a bit  
9 of my pitch just to say let's not overemphasize  
10 the assumption that people will make the rational  
11 choice, especially with respect to something like  
12 energy. It's not a big part of their budgeting  
13 lives. And for those entities for whom it is a  
14 big part, like, you know, large-scale  
15 manufacturers or something, you can bet that it's  
16 a big part of their decision making. You know,  
17 so I think that actually -- it actually makes a  
18 lot of sense when you see people not paying much  
19 attention to it.

20           Which is this third point here, people  
21 don't really have a lot of attention for this  
22 type of issue. And they don't really want their  
23 attention to be drawn towards it, at least not  
24 for any extended period of time. If we point  
25 something out that's not going well, if we make

1 them an offer that they appreciate, certainly  
2 that will be time well spent. But in general, if  
3 we spend all our time trying to get people's  
4 attention and hold people's attention trying to  
5 convince them that they should be energy nerds  
6 like us, we're going to be undermining a lot of  
7 people's interest in what we have to say. They'd  
8 rather be doing something else.

9           And coupled with that is energy, you  
10 know, especially in the form of like electricity  
11 and natural gas delivered on site, you know, it  
12 is such, typically, such a reliable system that's  
13 so tightly integrated into our lives that it's  
14 almost become invisible; right? So people don't  
15 have a great intuitive understanding of how much  
16 different appliances -- how much energy different  
17 appliances use, which things that are in their  
18 lives that use or less energy, how to diagnose  
19 things like waste in their homes, how to make  
20 decisions about replacements when the time comes.

21           And so, you know, unfortunately this low,  
22 what I call, NG literacy, what it means is even  
23 if you get someone's attention and you achieve  
24 some degree of motivation in them to do  
25 something, you can't really expect people to find



1 exactly the right thing to work on. There's  
2 missing information that could be used to help  
3 guide them.

4           And then finally, I will make the case  
5 that in the resource of meter data and , in  
6 particular, things like smart meter data, we see  
7 such dramatic diversity of how people are using  
8 energy. It doesn't matter how, you know, how you  
9 define similarity, just there's huge diversity  
10 within groups of similar people. And that means  
11 that we aren't really achieving our full  
12 potential if most of our efforts are prescriptive  
13 or one size fits all. But if we want to go after  
14 that diversity, if we want to mine that diversity  
15 for efficiency gains, we have to focus on getting  
16 individualized information. And that's a tough  
17 challenge, but there are actually a lot of  
18 organizations in other disciplines that do this  
19 very effectively. And I think we, basically, can  
20 be inspired by those other institutions.

21           Okay, next slide please.

22           Yeah, so this is -- Stewart Brand is, you  
23 know, the founder of the Whole Earth Catalog.  
24 He's kind of a deep thinker, you know, a bit of a  
25 visionary of social comment. He has very

1 incisive social commentary. And Stewart Brand is  
2 actually a very good building scientist. He wrote  
3 a book in the '90s called How Buildings Learn.  
4 And when he studied buildings, he realized for  
5 most of their lives they're in use -- or most of  
6 the lifecycle of a building is in use. And for  
7 that entire time, people are trying to adapt  
8 those buildings to their current needs and  
9 interests. And he has this really fascinating  
10 documentation of decades of change in different  
11 kinds of buildings, buildings that start out  
12 identical and ultimately diverge, and all sorts  
13 of other things.

14           But the important thing here is whether  
15 we do anything to accommodate it or not,  
16 buildings are always going to be adapting to  
17 these changing needs of people. And we will  
18 either be fighting against those changes or we  
19 will be lining up and taking advantage of and  
20 shaping those changes.

21           And I think this idea that during their  
22 lives, that there's always pressure and there's  
23 always change taking place within buildings is a  
24 really useful framing for thinking about how do  
25 we wind up with waste? How do we wind up with

1 misconfigured system? How do we wind up with  
2 opportunities for savings for areas where there's  
3 consumption that no one benefits from? It's  
4 inevitable if you think about buildings in this  
5 way.

6           So next slide please.

7           I won't dwell on this slide but, you  
8 know, these are citations, if you will, from my  
9 life as a building scientist, the reading that I  
10 did as a researcher of building science. And  
11 study after study after study, dating all the way  
12 back to the late '70s, you know, sort of, I  
13 think, what was by consensus the origin of our  
14 real quantitative interest in efficiency, there  
15 have been people pointing out these operational  
16 concerns of buildings as one of the major areas  
17 of needed improvement.

18           And so I would say, you know, as a  
19 building scientist, as someone who knows lots of  
20 building scientists, I would say the building  
21 science community is often puzzled by how  
22 indirectly efficiency programs pursue the kinds  
23 of problems that building scientists are  
24 interested in. And I'll just point out, there's  
25 lots and lots and lots of literature on how

1 buildings are used in operation and what's wrong  
2 with them and how to fix it, so on and so forth.

3           Next slide please.

4           So this is a figure, back to Stewart  
5 Brand's, How Buildings Learn. I think this is a  
6 really useful figure. It's very applicable in the  
7 context of the CEC, as well. So if you think  
8 about a building and all the determinants of  
9 energy use in the building, there's just so many  
10 of them. But if we want to shape that building's  
11 trajectory over time, we have things like the  
12 site, the orientation, you know, the core  
13 structure of the building that you're only going  
14 to do once, they're effectively permanent, or at  
15 least they will extend for the entire life of the  
16 building. And anything we do to impact those  
17 decisions will have far-reaching ramifications.

18           I think orientation is a very interesting  
19 one. You know, we have net-zero goals. We have  
20 passive heating and cooling opportunities. We  
21 have passive daylighting opportunities. And all  
22 of those things relate to the geometry of the  
23 building with respect to the sun and their site-  
24 local conditions. And if we make those decisions  
25 properly we'll reap benefits for decades from

1 them.

2           Whereas other aspects of the building,  
3 certainly, you know, the fit and finish, which we  
4 might say it might, you know, get renovated in  
5 some sense every 10 or 20 years, the equipment  
6 within which might have, you know, up to a 10-  
7 year lifetime, and then, of course, all the  
8 operational stuff, increasingly controlled  
9 systems, computerized systems, you know, some of  
10 those things, you know, are configured in a  
11 certain way for days. But certainly I think, you  
12 know, single-digit years is kind of there on the  
13 horizon.

14           And the point that I want to make here  
15 is, number one, not all decisions we make when  
16 buildings are being built are as permanent as we  
17 hopefully get to make when buildings are being  
18 built or being retrofit. And second, our policy  
19 tools don't always reach all the points when  
20 intervention could be productive. And so, you  
21 know, when you think about things like zoning and  
22 building codes, you know, we know that those are  
23 very important parts of our efficiency portfolio,  
24 but there are areas where codes have struggled to  
25 get purchase or where no one considers the domain

1 of, you know, sort of codes as originally framed.  
2 I really applaud the work that's been happening  
3 at the CEC to develop stretch codes to try to  
4 challenge our understanding of what can be put  
5 into a code, you know, putting (indiscernible),  
6 et cetera.

7           Next slide please.

8           So the only thing that I -- the one thing  
9 that I want to point out here is if you think  
10 about how do I achieve efficiency, we can upgrade  
11 equipment, we can repair equipment, but we can  
12 also do controlled planning changes. We can  
13 change step points. We can produce service  
14 intensity, things like de-lamping and lighting.  
15 We can substitute services. We can eliminate  
16 services that are wasteful. We can also think  
17 about, you know, demand flexibility in the  
18 category of demand response. And lo and behold,  
19 a lot of those same things, certainly all the  
20 control ones, overlap very heavily with these  
21 strategies for efficiency.

22           I think this idea that we need to get  
23 better control over buildings and we need to use  
24 that control to study buildings and, you know,  
25 individually, so that we can make the decisions

1 over time is really important towards the  
2 potential for savings. And it's very squarely  
3 situated in behavioral context because you can't  
4 make any decisions about the control of the  
5 building until you know what it's for, what  
6 people expect, what they need, you know, and what  
7 they're after.

8           But I would say these are the categories  
9 where the future role of buildings on the grid  
10 lies. So we've gotten very good at deploying  
11 equipment, you know, to upgrade or to replace or  
12 repair, but I think we need to get as good or  
13 better at some of these control challenges.

14           Next slide please.

15           There's a very well-known study in  
16 research circles. It was done in 2009. The lead  
17 author was a guy named Petes (phonetic). It was  
18 published in the Proceedings of the National  
19 Academy of Sciences. And everybody calls it the  
20 Behavioral Wedge Paper. This was a paper that  
21 asked a question very similar to the topic: How  
22 much savings can we get out of behavioral  
23 changes? Actually, sorry, it wasn't savings, it  
24 was mitigation: How much carbon mitigation can  
25 we get out of behavioral changes? And it was a

1 broader question than just buildings. It was  
2 about households, and so things like  
3 transportation were in there.

4           But the thing that I think is so  
5 interesting about the results of this study, I  
6 think most people on the street, if you stop them  
7 and you say, you know, what do you think is an  
8 efficient behavior or, you know, what do you need  
9 to do if somebody tells you to become more  
10 efficient, a lot of people will talk about things  
11 that require a really high mindshare; right?  
12 Turn out the lights every time you leave the  
13 room; right? You know, make sure that you're  
14 mindful of your consumption on an ongoing basis.

15           But what these all shows was that  
16 actually the decision making process that leads  
17 to purchasing, that basically cements the  
18 characteristics of the equipment that you own and  
19 operate, and infrequent actions, things like  
20 weatherization, you know, you commit to it and  
21 you get it done and then you don't have to think  
22 about it again for a long time, things like  
23 maintenance, you know, just like a regularly  
24 schedule of, keeping things in good repair, good  
25 working order, they have way higher potential for



1 impact than the daily actions that everybody -- I  
2 think that non-advocates anyway see as just such  
3 a burden in terms of the mindshare.

4           I think this is very encouraging, but we  
5 have to take very seriously the fact that when  
6 people are in the market for a new furnace, they  
7 have almost no time, right, because their house  
8 is cooling down; right? It's like broken.  
9 People have almost no time to do a deep dive. We  
10 have to prepare people for those moments. They  
11 have to know where to go to get the information  
12 about what's a viable replacement. It has to be  
13 in stock. The installers have to be prepared to  
14 do it. And probably the installers have to  
15 motivated to improve, you know, the efficiency  
16 profile in that moment. And if it's just a panic  
17 reaction, buy the first thing off the shelf, you  
18 know, we need heat by tomorrow, that's an  
19 opportunity that's not going to come back up for  
20 another 10 or 15 or 20 years.

21           And, you know, so this environment  
22 approach, let's say I just bought a new  
23 refrigerator, you can look up ENERGY STAR  
24 refrigerators and you can try to figure out where  
25 they are or what they are. But it is so hard,

1 even if you're super motivated and very well  
2 informed, in many cases, to find good information  
3 that's actionable in the context of purchasing.  
4 So just a little editorial there about some real-  
5 world lessons we might draw from Petes, et al.

6 Next slide please.

7 So I think many of you probably know Carl  
8 Blumstein (phonetic). He's one of the cofounders  
9 of the C Triple E (phonetic). He's run CIEE for  
10 many years. And Carl has done some work and  
11 published some work pointing out there's an  
12 inherent tension in efficiency programs. You  
13 have to have countable savings in order to  
14 administer programs, but evaluation can't  
15 precisely and accurately determine something that  
16 never happened, the counterfactual.

17 And I think in many cases we've spent a  
18 lot of time wrapped around the axle of trying to  
19 figure out what we've quantified something  
20 properly, whether two different groups who may be  
21 actually somewhat reasonably -- you know, have  
22 disagreements that are both reasonable, trying to  
23 adjudicate who's right, this framework that  
24 requires us to always be counting savings, even  
25 when they're very difficult and even when no one

1 will ever objectively agree on the answer, is a  
2 big problem. And it definitely shapes -- the  
3 need for quantifiability really shapes what  
4 interventions are viable.

5           Next slide please. We're nearly done.

6           Something that I was interested in, I  
7 looked up the most recent potentials study,  
8 Efficiency Potentials Study. This is Navigant's  
9 2018 study. And I was interested, of course, in  
10 the BROs, right, this behavior, retrofit and  
11 operational opportunities. And this is sort of  
12 the -- this is the less stringent version that I  
13 plotted up here. But the main thing you need to  
14 know, probably the only thing anybody would ask  
15 you if you just pulled them over on the street,  
16 they'd say what is that light green one? That's  
17 what this is all about. That's home energy  
18 reports.

19           If our definition of behavior in the  
20 context of efficiency is nothing but or is  
21 dominated by these peer comparisons that motivate  
22 people but don't really challenge them into  
23 constructive actions that leave them kind of  
24 their own to make up their own mind about how to  
25 resolve these issues, I would argue, we're not

1 doing a good job mining the behavioral resource.

2           And so to me, this forecast where the  
3 behavioral savings are dominated by HERS out as  
4 far as the eye can see, all the way through 2030,  
5 I think this is not an accurate reflection of our  
6 potential. Because what we call HERS, they saved  
7 about one, one-and-a-half percent of energy.  
8 And, you know, I think there's clearly greater  
9 potential than that. You know, we can talk about  
10 how hard or, you know, what it takes to deliver  
11 on that potential, but I don't think this is an  
12 accurate outlook for what the actual potential  
13 is.

14           Next slide.

15           Yeah, this, we're headed to the  
16 conclusion now.

17           So my work, you know, I'm very interested  
18 in this topic. And so what I've chosen to do  
19 with my time and my professional life is to work  
20 with really large sample meter data to understand  
21 how we can make programs and analysis more  
22 personalized and how we can map spatial and  
23 temporal patterns of consumption into better  
24 program design, better program execution, better  
25 program evaluation. So, you know, in that data,

1 we see time and time and time again that there  
2 are categories of consumption that aren't as well  
3 represented in the efficiency programs as they  
4 appear to be represented in the breakdown of how  
5 much energy are using in those categories.

6 Oh, yes? Is someone asking me a  
7 question?

8 MS. RAITT: No. Go ahead.

9 COMMISSIONER MCALLISTER: No. Go ahead.

10 MS. RAITT: So we are --

11 DR. BORGESON: Okay.

12 MS. RAITT: -- getting low on time.

13 COMMISSIONER MCALLISTER: We're a little  
14 bit over time, so --

15 DR. BORGESON: Okay. Yeah. Understood.

16 So I think metered data, you know, it's a  
17 new tool, and we haven't really scratched the  
18 surface of what can be done with it.

19 So next slide.

20 Oh, yeah, we can skip this. This is a  
21 visual intuition for what you might see in  
22 metered data. This is the last slide.

23 So I would just like to propose -- this  
24 is a hell of a last slide, I understand that --  
25 what I was (indiscernible) about in building this

1 slide was in a typical program there's a  
2 lifecycle of design, deployment and evaluation.  
3 And we really need to think about that whole  
4 lifecycle in the context of where can we inject  
5 new data, better analysis, new information? And,  
6 in fact, I had very little trouble thinking of  
7 areas where we can improve state of the art with  
8 this framing of, you know, adding more  
9 information and making it more quantitative in  
10 terms of design, in terms of being more  
11 disciplined about what we do in the field and how  
12 we measure it.

13           So my sort of parting thought is there's  
14 actually a lot we can do to improve our programs  
15 and kind of, sort of drag them into the 21st  
16 century as far as best practice from other  
17 industries.

18           I thank you very much for you attention.  
19 I'm happy to field follow-ups.

20           COMMISSIONER MCALLISTER: Thanks a lot,  
21 Sam. We really, really appreciate it. We don't  
22 have time for questions, unfortunately. But I  
23 think when we did the first draft of the AB 758  
24 Action Plan, you were in the middle of a lot of  
25 this work. And glad to see it sort of bearing

1 fruit and providing some directions. And  
2 certainly going forward in this year and next  
3 year, as we update the Action Plan for Energy  
4 Efficiency, we'd love to have your sort of  
5 updated input on the, in particular, the data  
6 sections of that report. And that's one of the  
7 organizing principles of it and I think your  
8 input will be really valuable there.

9 DR. BORGESON: Oh, yeah. This one, I'd  
10 be very happy to contribute.

11 MS. RAITT: Okay. Thank you.

12 So our next panel is on Agricultural and  
13 Industrial Energy Efficiency. And the Moderator  
14 is Manjit Ahuja. Excuse me.

15 Go ahead.

16 MR. AHUJA: All right. Thank you. Good  
17 afternoon. My name is Manjit Ahuja and I work in  
18 Efficiency Division. I'm going to provide a  
19 quick, a very quick overview of potential energy  
20 savings, energy efficiency savings from the  
21 industrial and agricultural sectors.

22 This figure comes from SB 350 report.  
23 And I want to highlight two items in this figure.

24 The first is I want to highlight the gap,  
25 the gap on top which shows the energy efficiency

1 we need to achieve to meet the objectives of SB  
2 350.

3           The second item I want to highlight is  
4 the top wedge, which is hard to see, it's the  
5 orange wedge. And that the wedge, energy  
6 efficiency savings, that we are expected to  
7 achieve, our best guess at this point from the  
8 industrial and agricultural sector. So it's the  
9 minimal energy efficiency saving shown there.

10           So to reemphasize, the SB 350 figure  
11 shows very small energy savings from the  
12 industrial and agricultural sector. However, the  
13 industrial and agricultural sector accounts for a  
14 quarter of the energy consumption in the state.  
15 So what we need to figure out, we're working with  
16 consultants, and to figure out what do they  
17 determined what is the potential of energy  
18 efficiency from these two sectors, energy savings  
19 in these two sectors?

20           This morning when IOU reps were  
21 presenting their business plans, a couple of them  
22 talked about the length of the document, and they  
23 are lengthy. I have read the business plan  
24 sections from -- all of them, actually, and what  
25 I can tell, a relevant section, and when I say



1 relevant section, I'm talking about ag and  
2 industrial, and I can tell you, those are  
3 impressive, and not even just impressive, very  
4 impressive. It shows the effort that thinking  
5 has better gone by -- behind -- by the planners,  
6 the writers in developing those plans, and those  
7 are very impressive. So -- but at the same time,  
8 a plan is one thing, but achieving a plan, that's  
9 when you get challenges and that when you get,  
10 you know, successes and challenges.

11           So we want to hear from the -- our reps  
12 from the IOUs this afternoon, what are the  
13 challenges and what are the successes they faced  
14 while their implementing? And what are the goals  
15 going forward?

16           This morning, Erin mentioned that the  
17 industrial sector is the second largest, I think  
18 you mentioned, potential savings. And I'm  
19 gratified to hear that because that's where the  
20 potential is.

21           Last is we -- in the May Business meeting  
22 the Commission adopted Food Production Investment  
23 Program. And Mr. Kazama from CEC is going to  
24 provide more details on that.

25           So we have four presenters, three from

1 IOUs, and the fourth is Mr. Kazama. And I'm  
2 looking -- we are looking forward to hearing from  
3 them.

4 I want to wrap up here, but before I wrap  
5 up I just want to thank the presenters for coming  
6 here and sharing their successes and challenges.

7 And that completes my presentation.

8 Thank you.

9 MS. RAITT: Thanks. So first is Colleen  
10 Breitenstein from Pacific Gas and Electric.

11 MS. BREITENSTEIN: Hi. My name is Collen  
12 Breitenstein. I'm with PG&E. I have a  
13 background in implementing energy efficiency  
14 programs and projects for over 11 years in  
15 California. And I have, at my time at PG&E, been  
16 really focused in the industrial and agricultural  
17 sectors.

18 So if we're going to go ahead and jump  
19 right in, as you can see, here are the electric  
20 usage and corresponding electric savings we see  
21 out of the various segments. As you can see,  
22 industrial is a little bit off, where the other  
23 segments do closely, more closely align with the  
24 usage and savings.

25 So next slide.

1           So the industrial savings overview, as  
2 you can see, we definitely have some room for  
3 improvement there, especially on the gas side  
4 when it comes to manufacturing. And we have a few  
5 strategies that I'll talk about later about how  
6 we're trying to achieve that, both in the short  
7 and long term.

8           Next slide.

9           So looking back, this is the barriers  
10 that we've traditionally faced with these  
11 customers. It is very challenging to establish  
12 the baselines, especially in highly customized  
13 environments. When there are only a few  
14 customers doing things of that nature, it can be  
15 very difficult to establish the research that  
16 would support a proper baseline. We also have to  
17 address the company-specific standards that can  
18 impact their decision making process, which is  
19 also very complicated.

20           We do encounter customers who are highly  
21 motivated. And in those types of environments,  
22 we can run into free ridership concerns because  
23 they have a motivation, frequently to reduce  
24 their energy usage, also reducing their bottom  
25 line costs. And that can present challenges as

1 we try to get them into our program.

2           And just again reiterating that a  
3 standard approach can be very challenging because  
4 there are typically custom-built environments, so  
5 they do use similar pieces of equipment, but they  
6 don't always use them in similar ways. And so  
7 each customer has to be approached and treated,  
8 sometimes in a variety of facilities under one  
9 customer in a very different and customized way.

10           And then traditionally, this is looking  
11 back, is the stranded savings in the operations  
12 and maintenance.

13           So those are some of the main barriers  
14 we've encountered with our industrial customers.

15           Next slide.

16           But there are opportunities, especially  
17 in the operations and maintenance, through these  
18 strategic energy management. And this is going  
19 to be a big change for how we've engaged with  
20 these customers, moving away from transactional-  
21 type relationships to long-term engagement and  
22 actually working with them over a long period of  
23 time, educating them, referencing the previous  
24 presentation, increasing their energy literacy  
25 and getting them the tools they need to enable

1 better and more steep energy savings, and also be  
2 able to do additional benchmarking as we move  
3 them through that process.

4           We've also expanded our financing  
5 offerings. One of the challenges we've had with  
6 financing is the typical industrial customer  
7 size. A project doesn't lend itself to what our  
8 financing offerings were. So we've now taken  
9 steps to address that to open that up to  
10 customers and enable them to access that  
11 financing that previously they weren't able to,  
12 unless it was on a very small project.

13           And then also, we are looking at  
14 expanding, and this is more of a short term,  
15 expanding and improving the existing measures.  
16 For the gas savings, which we saw the big  
17 disparity a few slides ago, we are increasing the  
18 access to our pipe installation measures. Again,  
19 this is a measure that, while it's used  
20 differently by different customers, it is a  
21 common measure. And so we have increased the  
22 access to that. So we are looking to -- we've  
23 actually launched that in the past 60 days. So  
24 we are looking to see some gains in that in 2018  
25 and going into 2019.

1           And also, the process fan VFD's, this is  
2 another common piece of equipment that's used  
3 differently by different customers. There was  
4 previously a prescriptive themed measure. That  
5 measure had some issues. We are now moving to a  
6 customized calculation which will still allow us  
7 to address the needs of those customers, but in a  
8 more specific way that will access the true  
9 energy at their site.

10           So moving on, agricultural sector, it's  
11 pretty obvious for the electric usage and savings  
12 that it is dominated by crop production. That is  
13 typically pump and irrigation systems. We have  
14 an estimate of over 80,000 pumps in PG&E's  
15 territory, and those pumps are used for a variety  
16 of different crops. For the gas usage, that is  
17 still dominated by the greenhouse industry, but  
18 we do have usage in the wineries. Dairies don't  
19 make much of an impact there because they  
20 actually do their own methane capture.

21           So next slide.

22           So, as we saw with the domination by the  
23 crop production, we really are limited to pumps.  
24 And what can do with those pumps? Traditionally,  
25 we've offered the Pump Overhaul Measure, pump

1 testing. We launched a VFD measure a few year  
2 ago. But really trying to get beyond touching a  
3 pump, into the irrigation system, California,  
4 especially during the drought, moved away from  
5 some of these various types of irrigation systems  
6 and has really moved toward micro drip, micro  
7 sprinklers. So that has reached a tipping point  
8 where we really can't consider those to be non-  
9 industry standards. There are still some  
10 customers, the smaller customers, who might need  
11 some help getting at those, but they are not our  
12 large users. We also --

13 COMMISSIONER MCALLISTER: Quick question.  
14 Are you including the agricultural processing  
15 facilities in industrial or in agricultural?

16 MS. BREITENSTEIN: So they are included  
17 in industrial, but I will touch on them --

18 COMMISSIONER MCALLISTER: Oh.

19 MS. BREITENSTEIN: -- with the SEM  
20 because they typically -- while some of them are  
21 standalone processing facilities, there are many  
22 who are vertically integrated.

23 COMMISSIONER MCALLISTER: Okay.

24 MS. BREITENSTEIN: And so we will have  
25 crossover there.

1           So -- and then in the industry standard  
2 practice, that also can be challenging to  
3 establish. There's over 400 commercially-grown  
4 crops in California. That is a large number to  
5 study individually. Each crop has its own needs.  
6 We do try to focus on some of the larger users,  
7 especially the larger water users because that's  
8 where we're going to see a lot more pumping.

9           And then also, adoption varies by the  
10 sophistication and resources of a particular  
11 grower or entity. The larger growers will  
12 typically have an agronomist or someone who  
13 really does focus on the economy of growing,  
14 where some of the smaller growers are in a  
15 situation where they really just need to keep the  
16 water flowing in order to make sure their crops  
17 don't die.

18           We also see that disparity in our dairy  
19 industry, as well, and in the wineries to some  
20 extent. But wineries have done a lot to become  
21 more sustainable.

22           And then the current market  
23 characterization is not current, so we do have  
24 stale information that we're operating with. We  
25 have engaged with a lot of the agricultural



1 universities in California. We have ongoing  
2 engagement with CSU Fresno. We really ramped up  
3 our engagement with Cal Poly. We've had some  
4 additional work with UC Davis. We're trying to  
5 get some outreach done in Chico, and also within  
6 the community colleges because those are  
7 typically vocational schools where the training  
8 for a lot of the folks who actually do the work  
9 occurs. That is one of our strategies to try to  
10 get better information, is to work with these  
11 entities who work with our customers.

12           And project level influence can be  
13 challenging due to a lot of the variable  
14 environmental factors that can impact the energy  
15 usage at a site. And then the customer decision  
16 making, again, with energy not being their top  
17 costs, they frequently are looking at their  
18 production and just making sure they are able to  
19 get something from field to market.

20           Next slide.

21           So briefly touch on the strategic energy  
22 management for food processing. Within the past  
23 few months, we've launched two food -- or two  
24 strategic energy management programs, one  
25 targeting industrial manufacturing, the other is

1 actually targeting food processing, which will  
2 cover some manufacturing of food, but also  
3 because those entities frequently are integrated,  
4 we will have some cross-over into our field  
5 production and supply chain.

6           Financing, again, we are looking at how  
7 we can increase the access to financing because  
8 they do have challenges, especially with meeting  
9 first-time costs, so we are looking at ways we  
10 can address that. Partnering with the Food  
11 Production Investment Program, we've got active  
12 engagement in that. And expanding and improving  
13 our existing measures. The Viastine (phonetic)  
14 Measure is one that we've had success with.  
15 We've actually launched an enhancement to try to  
16 get a better quality installation out in the  
17 field and push the market to doing more, doing it  
18 better. And changing requirements for the pump  
19 overhauls to make sure that we are capturing  
20 accurate energy savings.

21           Thank you.

22           MS. RAITT: Thanks. So next is Athena  
23 Besa from San Diego Gas and Electric.

24           (Colloquy)

25           MS. RAITT: Sorry. It will just be a

1 minute here.

2 (Colloquy)

3 MS. RAITT: Sorry about that.

4 MS. BESA: Good afternoon again. I'm  
5 Athena Besa with San Diego Gas and Electric and  
6 I'm the Senior Energy Efficiency Project Manager.

7 So I'm building up what I had talked  
8 about this morning about SDG&E's portfolio. And  
9 I'm going to focus on the industrial sector at  
10 this time, and the agricultural. So I'm going to  
11 skip part of this discussion.

12 So the interesting thing about SDG&E is  
13 we have both a small industrial and an  
14 agricultural community in customers. So if you  
15 look at the statistics that we have posted here,  
16 they only account for eight percent of our  
17 electric consumption and five for gas. And  
18 because of that, we don't spend a lot of money on  
19 our customers in terms of energy efficiency  
20 projects, but not for -- it's mostly because we  
21 try to find something to do with them.

22 So as we all talked about earlier,  
23 industrial customers tend to be very specialized,  
24 in a sense. And to the extent that SDG&E has a  
25 lot more smaller customers, it makes it even more

1 challenging to go beyond some of the traditional  
2 measures that we offer in the general portfolio.

3           So to give you an idea of what kind of  
4 customers we have, we can go from having a ship  
5 building operation in our port, all the way to --  
6 we have a lot of microbreweries, which are  
7 considered industrial. So if you look at the  
8 scope of the things that they do and what they  
9 need, there's -- although they're process  
10 oriented, they're still not the same process.  
11 And they have to offer -- you have to offer them  
12 a lot of customized approaches.

13           So when you consider, also, what these  
14 customers are more concerned with, there's a lot  
15 of environmental regulations that they are  
16 concerned with that are not necessarily related  
17 to energy efficiency. So we have to work with  
18 that competitive idea that they're trying to  
19 address versus their energy needs. And then, of  
20 course, they need productivity and their ability  
21 to provide profit. So these are the things that  
22 drive them in particular.

23           So one of the primary measures that we  
24 tend to see for industrial customers on the  
25 electric side, they tend to be motors and drives.

1 And to the extent that we've identified other  
2 opportunities, which we talked about a little bit  
3 earlier, is O&M, which tends to be the behavioral  
4 types of measures and retrocommissioning, as  
5 opposed to bringing on new equipment.

6           The other thing that's also increasingly  
7 getting attention is wastewater treatment. With  
8 the water crisis, a lot of people are into  
9 recycling water. And so there's a lot of  
10 potential opportunities to try to figure out how  
11 to get the most out of their water -- wastewater  
12 treatment.

13           Okay, so because we don't have a large  
14 population, we haven't really focused as much in  
15 customization. The best of customization that we  
16 offer would have been like through our calculated  
17 programs. We have specific audits done on the  
18 customers, and then we develop a plan for them.

19           We talked about, earlier, some of the  
20 challenges for if you have a calculated project  
21 and you're using a pay-for-performance type of  
22 approach, and by that I mean, you know, you make  
23 adjustments to the payment base on the actual  
24 verified savings that you see, it makes it a lot  
25 complicated in terms of establishing the

1 appropriate baselines and normalizing the post-  
2 consumption to make sure that you're just  
3 accounting for energy efficiency.

4           The other -- so the interesting thing  
5 about what we've done in the last year or so is  
6 really the development of the Strategic Energy  
7 Management Program. So Commissioner McAllister  
8 was asking earlier, it was like do you have a  
9 standardized way of trying to approach this  
10 measurement issues? And I think the answer to  
11 that is the strategic energy management approach.  
12 So we may not all agree with this. We had a lot  
13 of discussion in order to get to where we need to  
14 be.

15           But there is a standard manual for the  
16 program and a standard M&D guide. These manuals  
17 were developed in concert with the Northwest  
18 Program, so there's some lessons learned already  
19 that we are picking up. And then DOE is also  
20 adopting SEM, and we're all using the same basic  
21 manual. So I think that because we're doing this  
22 in a coordinated effort, and there's a lot of  
23 lessons learned moving forward, that potentially  
24 strategic energy management has good potential to  
25 help address the measurement issues for

1 industrial customers.

2           For SDG&E, we are, because of the way --  
3 because it needs to be very specialized, we are  
4 going to look forward to third parties offering  
5 their services in how to address our customers'  
6 needs.

7           Our agricultural sector, so I'd like to  
8 point to some interesting statistics. So when  
9 you think about San Diego, you don't really think  
10 about we are a farm area. We're definitely a  
11 destination vacation place. We're coastal  
12 desert. But we have many more farms than any  
13 other county in the United States. And the  
14 reason for that is because we have a lot of small  
15 farms, so small acreage, small farms or small  
16 agricultural, and therefore we have a lot more  
17 from that perspective. But again, they don't use  
18 a lot of energy from our perspective. And they  
19 have a lot of other concerns that drive them.

20           And in the last decade it really has been  
21 about water. So the agricultural customers will  
22 make or break based on their water need, and so  
23 we've seen a lot of customers who have converted,  
24 who have retired from their farming businesses.  
25 And so we don't have a lot of the traditional

1 agriculture.

2           One of the interesting things in San  
3 Diego is that with the legalization of cannabis,  
4 there's a potential for an increase in indoor  
5 agriculture for this type of product. And they  
6 are water intensive. They're energy intensive.  
7 And so they are a potential end use that we would  
8 have to address moving forward from that  
9 perspective. So again, water is one of the  
10 biggest issues in this particular sector. And so  
11 we're going to have to work with them in order to  
12 figure out how best to serve their needs.

13           We also assume that the strategic energy  
14 management approach can also be extended to the  
15 agricultural program. But we are focused on  
16 making it work in the industrial sector before we  
17 try to extend it over to the agricultural sector.

18           I have one more slide in here that I  
19 could have covered earlier, and it has to do with  
20 workforce education and training. I think some  
21 of my colleagues talked about this, but this is  
22 one of the areas. And it's not particular,  
23 necessarily, to industrial or agriculture, but  
24 definitely, there needs to be a focus on making  
25 sure that we have trained workers, employees who



1 are focused on the energy sector. So we are  
2 offering programs to do that. We're working with  
3 other agencies to make sure that we can actually  
4 create a workforce that can deliver energy  
5 savings. And in particular, it is challenging to  
6 find the right type of workforce to work in  
7 industrial and agriculture.

8           With that, I conclude my presentation.  
9 Thank you.

10           MS. RAITT: Thank you. Next is Erin  
11 Brooks from Southern California Gas.

12           MS. BROOKS: Good afternoon. Hi, I'm  
13 Erin Brooks from SoCal Gas. And today we're  
14 going to talk a little bit more about a deeper  
15 dive into the ag and industrial sectors for our  
16 SoCal Gas customers in our territory.

17           This is a repeat from before, but just to  
18 remind everybody, we're really looking towards  
19 creating long-term solutions for customers in  
20 these sectors to sustain lasting operations, as  
21 well as changing out their equipment and focusing  
22 on both behavioral and the actual products and  
23 services, and addressing their needs in a  
24 simplified way.

25           I will pass over our SB 350 goals.

1           So starting with the ag sector, ag sector  
2 is still a little bit small for SoCal Gas. The  
3 ag sector represents about two percent of overall  
4 consumption, but we do think it's a very  
5 important sector. It is comprised mostly of a  
6 few larger customers within that segment. So,  
7 you know, two percent of these customers are very  
8 large, but they represent about 44 percent of the  
9 consumption. So we have historically targeted  
10 our larger users with their energy efficiency.  
11 So we have a lot of really small customers who  
12 also have various energy efficiency needs that we  
13 are looking to address going forward. And also,  
14 the kinds of customers we're looking at are those  
15 with greenhouses, farming, and then post-harvest  
16 are the primary segments.

17           So some of the challenges in the ag  
18 sector is that, because they're very small, they  
19 often lack access to technical resources to do  
20 these assessments at their facilities, as well as  
21 financial resources. And they also have  
22 competing priorities. There's production windows  
23 where they can -- they have an opportunity to  
24 make changes during a very specific time of the  
25 year. Other times, they're in harvesting or in

1 the growing season and they can't really change  
2 their operations. So it's a much more narrow  
3 focus. And it's also difficult to offer standard  
4 programs to these customers because their needs  
5 vary so greatly depending on the kinds of crops  
6 or the operations that they have.

7           Some of the trends we see is that, of  
8 course, we have limited water. I know we are  
9 technically out of the drought now, but water is  
10 also a concern in the ag industry. There's also  
11 a decreasing in labor availability, which allows  
12 -- which also provides for increased  
13 mechanization in this industry. There's also  
14 this opportunity with the cannabis legalization,  
15 and indoor agriculture, so we are looking at  
16 efficiency opportunities for those customers.  
17 And as well as increased labor costs limit the  
18 capital that these customers have to do these  
19 energy efficiency projects.

20           So in SoCal Gas area we have a lot of  
21 urban farms and nurseries. You can see from this  
22 picture sort of the distribution of nurseries  
23 versus urban farms, and they're really a heavily  
24 concentrated area, even in the L.A. Basin itself.

25           And so in the ag sector, we have a few

1 customer segments, like I mentioned before.  
2 Greenhouses is one of the primary energy users in  
3 this segment. There's a lot of opportunity here,  
4 although we tend to focus on smaller greenhouses  
5 because there are some questions on industrial --  
6 or industry standard practice, that was mentioned  
7 earlier, with these larger greenhouses, over a  
8 million square feet, and whether we are able to  
9 provide energy efficiency incentives to those  
10 customers. So we focus on the smaller ones and  
11 look at all kinds of savings opportunities for  
12 them, like the variable frequency drives,  
13 building shell, all of the -- lots of lighting  
14 opportunities, thermal curtains and so forth.

15           We have this urban ag which can be indoor  
16 ag, but can also just be small farms. As you all  
17 know, there's a big push in the past few years  
18 towards more farm to table living. So lots of  
19 agriculture is happening closer to the population  
20 densities so that it doesn't have to be  
21 transported a really long way, and thus  
22 contribute to our greenhouse gas emissions. So  
23 we have lots of little farms that have popped up  
24 all over and we're looking at ways to address the  
25 needs of those customers.

1           Again, there's lots of conservation  
2 potential here. We look at herb gardens,  
3 tomatoes, carrots, peppers, lots of these kinds  
4 of small, small farms that are usually single-  
5 crop focused all around the Los Angeles area, and  
6 we're working with those customers.

7           Another segment that is special is  
8 mushroom farming. This is really variable in  
9 size, but it's usually quite small. It sort of  
10 resembles a commercial customer, just on the  
11 facility that they operate in. But there's lots  
12 of opportunity for HVAC, for lighting, for  
13 insulation, and especially water conservation.

14           Moving to our industrial sector, I  
15 mentioned this earlier but this is about 25  
16 percent of the natural gas consumed by SoCal Gas  
17 customers, so it's by far our largest single  
18 sector. And there is a lot of opportunity here.  
19 We have refineries in our territory. We have  
20 food and beverage, textiles, minerals and  
21 plastics. They do a lot of process heating,  
22 water heating, space heating. And then they  
23 are -- again, this is really dominated by a few  
24 very large customers. And so we want to really  
25 focus on strategic energy management specifically

1 for these really large customers, and also offer  
2 comprehensive approaches to simplify that  
3 engagement.

4           Some of the challenges that we've see in  
5 the industrial sector so far are that there is  
6 low adoption of energy efficiency solutions by  
7 really small customers. Again, that's depending  
8 on the kinds of operations they have and the  
9 access to capital, and ability to adjust their  
10 operations to do these projects. Some customers,  
11 we find, have turnaround of their facility.  
12 They're operating constantly and they only shut  
13 down maybe once every two or three years. And so  
14 being able to time the project to that specific  
15 window is a challenge. And if you miss it, then  
16 you have to wait another several years in order  
17 to do the work.

18           Lots of the projects are complex and time  
19 consuming. We have a review process that we go  
20 through to make sure the savings are verified and  
21 accurate, and that takes some time to go through  
22 that process. And then we have -- it's sometimes  
23 difficult to convince customers to pursue energy  
24 efficiency because they're focused on just their  
25 operations. And whether they're willing to take

1 the time out and make these upgrades during those  
2 turnarounds or during some other kinds of down  
3 time does take some convincing on their part.

4           But we have seen a lot of opportunity in  
5 the industrial sector. The vacancy rates for a  
6 lot of these facilities has declined, so  
7 operations are ramping up again, which was  
8 positive. We see a lot of new construction in  
9 the Southern California region, especially in the  
10 Inland Empire. There's lots of growth there in  
11 the industrial sector.

12           For in 2016 historical information,  
13 you'll see the segments that I mentioned,  
14 refineries, food and beverage, minerals and  
15 plastics. So refineries are by far the largest  
16 portion of our industrial sector, but food  
17 processing is the second highest, and that's what  
18 I would like to talk about now.

19           So you'll see that within our industrial  
20 sector, food processing customers are about 15  
21 percent, but they represent 27 percent of the  
22 usage. So there is some significant opportunity  
23 in this segment. And these are mostly comprised  
24 of cheese manufacturing, fruit and vegetable  
25 canning, dry, condensed, evaporated dairy product

1 manufacturing, milk manufacturing, and frozen  
2 fruit juice and goods, so there is substantial  
3 savings potential here.

4           We have to work with them on their return  
5 on investment to make sure that their management  
6 buys off on the value of these projects in time  
7 for them to make the capital decision in their  
8 capital planning. And then we have to recognize  
9 that they are very niche customers. Each of  
10 these, in food processing, they have very  
11 specific needs and very specific kinds of  
12 operations. And so getting that technical  
13 expertise in to evaluate their opportunities is  
14 pretty important and essential that they  
15 understand, really, the very specific kinds of  
16 customers that we have and the operations that  
17 those customers have. It's not easy to evaluate a  
18 refinery versus a cheese plant versus something  
19 else and you -- the same approach is not able to  
20 be applied. So having that expertise in specific  
21 food processing segments is really important.

22           Another growing areas, in addition to San  
23 Diego that's maybe like the brewery capital, the  
24 breweries are also growing in Southern California  
25 in our territory, as well. We have about -- in



1 2014 there was 24 percent growth, and it's been  
2 even higher since then. This industry is really  
3 exploding, and so there's lots of energy  
4 efficiency opportunities here. We see that there  
5 are, not only, of course, in the gas usage but  
6 electrical savings, as well. So again, we do  
7 partner with all of the electric utilities in our  
8 territory in order to offer these comprehensive  
9 programs to them in order to achieve savings, not  
10 only on the gas side, but electricity and water.

11           And then finally, all of our energy  
12 efficiency offerings, whether it's for the  
13 nonresidential sector, whether it's the custom  
14 program where you have, basically, a dollar per  
15 therm depending on the kinds of retrofit that  
16 you're doing, or our standard deemed rebates  
17 apply for industrial and agricultural customers.  
18 So we have deemed incentives for boilers, for  
19 heat curtains, for specific measures that apply  
20 to those kinds of customers. Or if the deemed  
21 doesn't work, then we have a customer approach  
22 that we can apply.

23           And thank you very much.

24           MS. RAITT: Thanks. Next is Don Kazama  
25 from the Energy Commission.

1 (Colloquy)

2 MR. KAZAMA: Good afternoon, members of  
3 the audience, Commissioners Hochschild and  
4 McAllister. My name is Don Kazama from the  
5 Energy Efficiency Research Office, representing  
6 the Industrial, Agricultural and Water Program.  
7 And today I'm going to discuss and just give a  
8 high-level overview of the general -- generally  
9 of the Industrial, Agricultural and Water  
10 Program, and a little bit more specific  
11 discussion about a certain program element that's  
12 brand new. It's the Food Producers Investment  
13 Program which you heard a little bit about from  
14 previous speakers.

15 You heard this morning from Commissioner  
16 McAllister that we are going to be moving pretty  
17 soon from an energy-based metric for energy  
18 efficiency programs to more of an emissions-based  
19 metric. And we do have a statutory goal that we  
20 have to meet of 40 percent greenhouse gas  
21 emissions reductions by the year 2030, and that's  
22 sooner than you think timewise, so it would  
23 behoove us to get moving quickly. And to get  
24 there, we're going to be relying on increased  
25 energy efficiency and on renewables to reduce our

1 carbon footprints. And the CEC programs which I  
2 will be discussing are designed to drive the  
3 technology and the innovation which is going to  
4 help us to reach our goals.

5           These are our current funding sources for  
6 the Industrial, Agricultural and Water Programs.  
7 They're public goods charged based. And the first  
8 one is EPIC, the Electric Program Investment  
9 Charge. And \$125 million a year has been  
10 authorized for expenditure for energy efficiency  
11 projects. And the other is natural gas, of which  
12 \$24 million a year has been authorized for  
13 expenditure. And the new one is sourced from the  
14 Greenhouse Gas Reduction Fund. The is a fund  
15 that's paid in by facilities that are subject to  
16 Cap and Trade by the California Air Resources  
17 Board. And this expenditure was authorized by AB  
18 109. And this begat the food production -- I'm  
19 sorry, Food Producers Investment Program.

20           And as the Commissioner mentioned this  
21 morning, we need to have projects on the ground  
22 to get actual greenhouse gas emissions  
23 reductions, so these programs are designed to do  
24 just that. And we want to make a bigger impact  
25 on the curve that Manjit showed you a little

1 while ago and to tap into the really large  
2 potential for industrial energy efficiency  
3 savings that have been discussed by all the  
4 utility reps here today.

5 I'm going to show a few examples of the  
6 types of projects that we have currently funded.  
7 And the first one on the left there is -- the  
8 awardee was GTI and it was \$2.6 million out of  
9 the Natural Gas Fund. And what this project did  
10 was replaced conventional drying tunnels with a  
11 rotary process instead. And the test site here  
12 was the Inland Empire Foods Company in Riverside.  
13 And this project resulted in a 81 percent natural  
14 gas use reduction, which is pretty significant.

15 The project in the middle was awarded to  
16 the U.S. Department of Agriculture, \$885,000,  
17 again, funded by Natural Gas. And this is  
18 infrared dry blanching and catalytic drying of  
19 what they call snack foods. If you guys have  
20 ever eaten kale chips, beet chips, things like  
21 that, this is exactly what this is. The prior  
22 process used a conventional drying oven to dry  
23 these products out for consumer use. This one  
24 went to dry blanching with an infrared process  
25 and saved 40 percent on natural gas use.

1           And the other project on the right is at  
2 Jackson Family Winery in Sonoma. And this  
3 project uses a combination of reverse osmosis and  
4 forward osmosis for treatment wastewater for  
5 reuse. And this water is good enough and clean  
6 enough that it could be used for facility  
7 cleanup, including barrel washing. And the  
8 impressive thing about this, in addition to the  
9 250 metric tons per year of CO2-equivalent  
10 emission reduction, it reduces groundwater use by  
11 90 percent. And this is a pretty large factor as  
12 the California industry is located in some areas  
13 like San Diego which are kind of water deficient.  
14 So it's very, very important in that regard, as  
15 well.

16           There are a bunch of numbers up here.  
17 I'm not going to necessarily read them, but the  
18 food processing industry in California is vitally  
19 important. I mean, it contributes a lot to the  
20 California economy, \$82 billion. It produces  
21 almost 200,000 jobs, direct jobs, plus  
22 subcontractors and others who provide services  
23 and goods to the facilities. And they use a heck  
24 of a lot of energy. And their emissions reflects  
25 that, it's 3.3 million metric tons of CO2 each

1 year emitted.

2           And a side goal of our work here is to  
3 help these industries remain competitive so  
4 they'll stay in the state and not migrate out.

5           And real quickly, through the Food  
6 Production Investment Program, I'm going to refer  
7 you to the published guidelines, which I'll talk  
8 about in a second, to get some specifics. But  
9 basically, this program was established by AB 109  
10 and it allocates \$60 million from the Greenhouse  
11 Gas Reduction Fund to fund energy efficiency  
12 projects that specifically reduce greenhouse gas  
13 emissions. And the program was developed with  
14 pretty significant input from the food processing  
15 and from trade organizations and government  
16 agencies, as well, such as the California  
17 Department of Food and Agriculture, and just  
18 general public comment from stakeholders.

19           The name of the game for the FPIP is to  
20 reduce greenhouse gas emissions. And our goal is  
21 to get more projects installed. Again, this goes  
22 back to Commissioner McAllister's statement this  
23 morning. These projects should not only exceed  
24 best practice, but they should go out of the  
25 advanced areas, cutting edge areas where this

1 technology is not necessarily used here in  
2 California but might be proven to reduce  
3 greenhouse gas emission reductions in places like  
4 Europe.

5 Another goal of this program is to get  
6 other food processors, other industries to  
7 actually adopt -- to look at what we're doing  
8 here and then adopt the technologies for their  
9 own use.

10 And lastly, as required by SB 535 and AB  
11 1550, this program is designed to have a positive  
12 impact and benefit disadvantaged communities and  
13 low-income communities.

14 Okay, we implemented this program in two  
15 phases. And we are -- just have completed the  
16 first phase and we produced and published a set  
17 of guidelines which inform food processors on how  
18 to access the \$60 million in funds.

19 The program is set up so that there are  
20 two tiers in which food processors will apply for  
21 funding, Tier 1 which are basically prescriptive  
22 measures, and Tier 2 which are the advanced  
23 technology, they're more or less custom measures.  
24 And I'm going to refer you to the link on the  
25 guidelines to get the detail on it, but in both

1 cases, EM&V will be conducted so that we can get,  
2 as what a previous speaker said, countable energy  
3 savings. And countable energy savings equals  
4 countable GHG emissions reductions.

5           The grant funding opportunity or  
6 solicitation is currently in the works. And we  
7 expect to release that by later this month, with  
8 some pre-bid workshops coming up in July. And  
9 the proposals themselves will be due in  
10 September.

11           And here are the various links where you  
12 can go to, to view the guidelines and eventually  
13 get a copy of the GFO. And also, there's a key  
14 staff contact, Cyrus Ghandi. He's the main  
15 program contact on a day-to-day basis. And  
16 there's also a docket that has been activated for  
17 the public to provide input during this entire  
18 process.

19           Thank you very much.

20           COMMISSIONER MCALLISTER: Was there any  
21 follow-up with questions or anything like that?  
22 Did you have any prepared questions for the  
23 panelists? No? Just wondering sort of --

24           MR. AHUJA: (Off mike.) Yes, I do have  
25 questions.



1                   COMMISSIONER MCALLISTER:   Okay.   Great.  
2 I've got a couple questions, too.   We've only got  
3 about seven minutes, though.

4                   MR. AHUJA:   So when I was doing research,  
5 I found out that a couple universities, one in  
6 Southern California and one in Northern  
7 California --

8                   COMMISSIONER MCALLISTER:   Could you put  
9 the mike -- there you go.

10                  MR. AHUJA:   When I was doing research, I  
11 found that a couple of universities, state  
12 universities, one in Southern California, one in  
13 Northern California, Southern California is  
14 Northridge, and I think Northern California is  
15 San Francisco, they're funded by DOE to do  
16 audits, energy audits.   And so -- and when I  
17 talked to the program managers, I didn't get a  
18 sense that there was leveraging going on between  
19 the utilities and the universities.   And what I  
20 found out was that these universities, as I said,  
21 they were funded by DOE, and they were reaching  
22 out to a smaller customer, bakeries, et cetera,  
23 and saying, hey, come on, you know, we'll do a  
24 free audit.   And I thought they would be -- they  
25 could be, potentially, part of the marketing by

1 the utilities.

2 So I just want to know your thoughts.

3 How are you leveraging any potential for  
4 leveraging for this newly-funded program?

5 MS. BROOKS: Okay, this is Erin Brooks  
6 from SoCal Gas.

7 So I am not aware of the actual  
8 leveraging that we do, but I agree that that is a  
9 great opportunity. But I'll take that back and  
10 find out what we do in that area now.

11 COMMISSIONER MCALLISTER: Because there  
12 have been several of these over the years.  
13 They've been in place for like 20 years. I mean,  
14 SDSU down in San Diego has had the Industrial  
15 Assessment Center for, I don't know, 15 years,  
16 and they've done some really good work. And, you  
17 know, hopefully, there's some collaboration that  
18 can happen there. I don't know about their  
19 funding situation today.

20 MR. KAZAMA: This is Don Kazama and I'm  
21 the former Program Manager of the California  
22 Energy Commission's DOE-funded Industrial Energy  
23 Efficiency Program. And as such, we work closely  
24 with the centers are San Francisco State  
25 University, San Diego State University, and the

1 now defunct, I hate to say, Loyola Marymount  
2 University in Los Angeles with their Industrial  
3 Energy Assessment Center. And I'm most familiar  
4 with the work done by San Francisco State. And  
5 they have to date conducted over 500 industrial  
6 energy assessments, which include many, many food  
7 processing plants, as well as standard  
8 manufacturing plants. So they have quite a bit  
9 of a track record.

10           And I might want to add here, too, that  
11 San Francisco State, the IAW (phonetic) Program  
12 has an interagency agreement with them to conduct  
13 EM&V for some of the projects that may come out  
14 of the FPIP Program.

15           COMMISSIONER MCALLISTER: Oh,  
16 interesting. Great. Thanks. I did not know  
17 that you managed that program. That's great.

18           So I have a couple of questions. You  
19 know, we heard, well, maybe a year or so ago  
20 there was an En Banc between the PUC and the  
21 Energy Commission, and it was sort of about  
22 retail choice, I guess, is really the way it was  
23 billed. But it was a fairly wide-ranging  
24 discussion. And the large energy consumers were  
25 there, CLICA (phonetic). I don't think CMTA was

1 there, but the manufacturers are in this  
2 discussion, as well, obviously. And they -- you  
3 know, energy is a big cost for them and they want  
4 to keep it down. And I guess the -- and they  
5 sort of have, you know, over the years asserted  
6 that they don't -- they can't really participate  
7 in the programs at the utilities. And I gather  
8 that's changing somewhat.

9           But I guess what's the status of just  
10 sort of your outreach to the industry groups and  
11 sort of your ability to provide really solid  
12 contextual, you know, I won't say custom, but  
13 just solid assistance to them to not just get  
14 their energy bills down, but also, you know,  
15 provide incentives of some sort to them?

16           MS. BREITENSTEIN: This is Colleen from  
17 PG&E.

18           We actively engage with CLICA, and also  
19 the food processors.

20           COMMISSIONER MCALLISTER: Uh-huh.

21           MS. BREITENSTEIN: So we -- I referenced  
22 some of the challenges we faced --

23           COMMISSIONER MCALLISTER: Yeah.

24           MS. BREITENSTEIN: -- with them  
25 participating in our traditional programs. We're

1 hoping that by the launch of SCM (phonetic) and  
2 being able to roll that out, that we'll be able  
3 to address some of those challenges that have  
4 created, probably, some of the feedback you've  
5 heard.

6 COMMISSIONER MCALLISTER: Yeah. Yeah.  
7 Well, I'm sure you've heard it, so --

8 MS. BREITENSTEIN: Oh, I have.

9 COMMISSIONER MCALLISTER: I appreciate  
10 you expanding the financing platform to be -- to  
11 do bigger projects, for sure.

12 MS. BREITENSTEIN: Yeah. That's another  
13 aspect that we're hoping to help them, because  
14 there are some different requirements for that  
15 which may allow them to access the energy  
16 efficiency through the financing platforms,  
17 versus our traditional dollar per kWh therm.

18 COMMISSIONER MCALLISTER: Yeah. That  
19 sort of leads to my second question.

20 You know, there's a lot of incremental  
21 things that people can do to save energy. And,  
22 you know, kind of at the margins, a few  
23 percentage here and there. But I guess, you  
24 know, really the bold stuff is, to get deep  
25 savings, is pretty -- tends to be pretty capital

1 intensive. And particularly where you've got a  
2 facility, for example, it's got, you know, a heat  
3 process and a refrigeration process, you know,  
4 like linking those two up and, you know, putting  
5 in place, you know, heat pumps in between, like  
6 balancing the two and helping them really  
7 innovate with capital intensive, relatively large  
8 capital, but it's still cost effective. It's  
9 just, you know, it's a bigger hurdle to get over  
10 to do the project.

11 I guess, how do you see those sorts of,  
12 you know, big capital kind of innovations  
13 happening?

14 And I was just over in Europe at the  
15 Clean Energy Ministerial in Denmark. You know, I  
16 did a couple of sort of studies of -- or not  
17 studies, site visits of these big facilities.  
18 And they are really taking an integrated  
19 approach, like and saving massive amounts of  
20 energy in pretty innovative ways.

21 And so I think I'd like to see something,  
22 you know, more of that here. And I'm wondering  
23 sort of what role those sorts of bold projects  
24 could play within the portfolio, you know, really  
25 just at all, not necessarily within the portfolio

1 but just to make them happen?

2 MS. BROOKS: So this is Erin from SoCal  
3 Gas.

4 We agree, there's a lot of opportunity  
5 for these big, comprehensive, intensive projects.  
6 The challenge we've had in the past, or most  
7 recently, is isolating, potentially, the energy  
8 savings parts of those projects versus the other  
9 benefits that the customer receives. And we've  
10 gotten lots of questions about that through our  
11 traditional programs and whether -- questions  
12 about spending ratepayer dollars on other  
13 benefits that the customer would receive in  
14 addition to energy savings.

15 And then looking at -- we have historical  
16 program rules that we're looking at adjusting  
17 where we have caps on some of these projects. So  
18 if it is a really, really large project and it's  
19 like a \$20 million investment that the customer  
20 is making, we can't pay them a dollar per therm  
21 for that because that completely bankrupts the  
22 program budget and doesn't allow for equitable  
23 access to all customers.

24 And so measuring the effectiveness of the  
25 incentives, whatever the cap is, if it's \$1

1 million per customer, or depending on the  
2 program, and that motivation for them to make  
3 that decision at that point and judge -- and  
4 showing that our -- you know, the ratepayer  
5 dollars does result in that investment that's  
6 being made, even though it's a really large  
7 capital investment, is something we're still  
8 working through also.

9           COMMISSIONER MCALLISTER: Okay. That's  
10 interesting.

11           So I guess in the context of SB 350 where  
12 we're going to be, you know, putting together the  
13 plan for doubling and we're going to be including  
14 the industrial sector, I mean, I guess the  
15 portfolio is a piece of that; right? But I  
16 think -- so we're going to be convening industry  
17 groups. And again, we want everybody's feedback  
18 on like, okay, where should we convene and who  
19 and when and sort of, you know, helping us get  
20 the most out of that effort, so -- but we'll make  
21 sure to include, you know, the utilities,  
22 certainly the local ones. But I think it's  
23 important to have you guys -- have the portfolio,  
24 at least, there as a resource, so I'll make sure  
25 I do that.



1           Anybody else want to make any comments?

2 I think we just have time here. Great. All  
3 right. No, go ahead.

4           MS. BREITENSTEIN: Oh. Colleen from  
5 PG&E.

6           Really just kind of reiterating what Erin  
7 was saying, and then reinforcing what you're  
8 going after, we have, at PG&E, encountered with  
9 one of our refineries a very large, complicated  
10 project which started many years ago, encountered  
11 a lawsuit which sent it off the rails for several  
12 years --

13           COMMISSIONER MCALLISTER: Uh-huh.

14           MS. BREITENSTEIN: -- but it's now come  
15 back. And so we've taken a very different  
16 approach to that one because it is so large and  
17 we are looking at millions of dollars in  
18 incentives. And we are taking a very thoughtful  
19 approach to how we would, one, mitigate the  
20 impact to the portfolio to make sure that we  
21 don't shut others out because we've exhausted the  
22 funds, but also to ensure that we are being fair  
23 to other ratepayers by making sure the  
24 investments are cost effective and looking at  
25 various ways to get this one through. Now

1 granted, we can't take that approach with every  
2 project or every customer because they wouldn't  
3 necessarily warrant that level of intensity. But  
4 this is something that is completely outside of  
5 anything we've ever done before. So we are  
6 trying to be creative within the bounds of our  
7 program rule.

8 COMMISSIONER MCALLISTER: Yeah, great. I  
9 very much appreciate that, so thanks. All right.  
10 All right, I think we're good. Thanks very much.

11 MS. RAITT: Thanks. So we'll go ahead  
12 and set up for our next panel on Conservation  
13 Voltage Reduction Technology.

14 All right, so our first speaker is Laith  
15 Younis from the Energy Commission.

16 (Colloquy)

17 MR. YOUNIS: Okay, good afternoon  
18 everyone. My name is Laith Younis and I'm with  
19 the Demand Analysis Office.

20 Conservation Voltage Reduction, or CVR,  
21 is a proven technology to reduce energy use and  
22 peak demand. It is a technique for improving the  
23 efficiency of the distribution system by  
24 optimizing the voltage. CVR is included within  
25 the programmatic activities to satisfy the SB 350

1 doubling goal. These efforts are achieved by  
2 installing various forms of equipment sensors.  
3 And some utilities have been able to find similar  
4 savings using software-based programs and  
5 products, reducing the capital costs even  
6 further.

7           The Energy Commission is excited to  
8 welcome Michelle Nall with Glendale Water and  
9 Power, Bryan Pham from Southern California  
10 Edison, and Russ Griffith with PG&E, who will be  
11 discussing the potential of CVR technology and  
12 their CVR programs.

13           MS. RAITT: Michelle Nall from Glendale  
14 Water and Power, please.

15           MS. NALL: Good afternoon, Commissioner  
16 and Advisors. My name is Michelle Nall. I'm  
17 with Glendale Water and Power. I'm the Utility  
18 Business Systems Support Manager. And we manage  
19 all of the Smart Grid systems that were  
20 implemented.

21           So Glendale, if you don't know, is  
22 outside of Los Angeles. It's northeast of Los  
23 Angeles. We have about 125,000 customers. We  
24 deployed Smart Grid in 2011 and part of the Smart  
25 Grid initiatives was implementing a CVR solution.

1 We implemented all our, you know, electric and  
2 water meters, our AMI.

3           And in 2014 we selected Dominion Voltage,  
4 Inc., DBI, their EDGE Solution. So their EDGE  
5 Solution uses the AMI voltage data, along with  
6 the existing SCATA controls to optimize voltage  
7 levels on the network. The EDGE Solution has  
8 three different modules. They have a planner, a  
9 manager, and a validator.

10           So the planner determines the Bell  
11 Weather meters and outliers for the minimum and  
12 maximum voltage. It utilizes data from our  
13 meters and the voltage data is imported into the  
14 planner and that's when it determines the  
15 outliers for the minimum and maximum voltage.

16           The manager is more like a dashboard for  
17 each transformer's voltage performance so we can  
18 monitor that, and we can turn it off and on based  
19 on the needs of our dispatch.

20           The validator actually calculates the  
21 energy savings for each of the transformers and  
22 feeders for us. So it uses the real-- like I  
23 said, it used the real-time AMI data to make  
24 control decisions so it responds dynamically to  
25 changes on the grid.

1           So our pilot program we started in  
2 September of 2014. It uses -- we basically just  
3 use one transformer and one feeder and it's about  
4 3,800 meters. It uses 15-minute voltage data.  
5 We have an AMI -- we have an adapter on our open  
6 way collection engine and that's where it pulls  
7 all the voltage data for the meters that imports  
8 it into the planner.

9           When the data's imported into the  
10 planner, it basically selects 20 Bell Weather  
11 meters on the high side and the low side. And we  
12 want to try to get the range between 114 and 126  
13 volts.

14           So for the program rollout, when we first  
15 started we wanted to identify all the outliers.  
16 We wanted to identify anything that had the  
17 voltage that was under 114. We actually found a  
18 lot of issues. So there's a lot of panel issues.  
19 We actually found transformers that were out just  
20 doing that analysis prior to it. Because you  
21 don't want anything that's significantly low.

22           So we would send out field investigations  
23 for that to determine what were the causes of the  
24 low voltage because otherwise it's a barrier for  
25 the EDGE to work correctly.

1           So our pilot program we rolled -- like I  
2 said, we rolled out one feeder. It was a slow  
3 rollout. We had a lot of pushback from our  
4 engineering department for whatever reason and  
5 I'll get into that with our barriers.

6           So we rolled out one feeder, then two  
7 feeders the next year. This year we actually  
8 implemented 19 transformers and 33 feeders. Our  
9 goal is to have 38 transformers and 54 feeders.  
10 Right now we're only focusing on residential and  
11 small business. We're not rolling it out to our  
12 large commercial customers. That was a joint  
13 decision at this time because they want to be  
14 able to monitor it for a while before we do that.

15           COMMISSIONER MCALLISTER: These are  
16 transformers, these are substation transformers  
17 or these are distribution --

18           MS. NALL: Yes, substation transformers,  
19 yeah.

20           So over the last three years that we've  
21 implemented the program we've seen a savings on  
22 an average of 2.2 percent per feeder. Some are  
23 higher, some are lower.

24           And this is just the chart that you can  
25 see where the energy savings have occurred for us

1 in the last couple of years.

2           So this is the methodology that DVI uses.  
3 I'm not going to go into detail on that because  
4 I'm not an engineer. This is basically an  
5 engineering calculation. But the validator uses  
6 a statistically pairing process to determine the  
7 CVR factor, which is then combined with the  
8 voltage reduction data to calculate the energy  
9 savings.

10           So the data in here is in the slides. I  
11 know Bryan and Russ can probably go into more  
12 details on the calculations, since they're  
13 engineers. So this is just the methodology that  
14 DVI uses.

15           So some of the implementation barriers we  
16 had, we didn't have too many. There were no  
17 regulatory barriers. Our city council was fully  
18 supportive of the program and the project.  
19 There's no technical barriers because the  
20 technology worked as promised and we're very  
21 happy with the product.

22           The only major barrier was the human  
23 factor. Our electric service staff were  
24 convinced that the system would harm the load tap  
25 changers and increase operations, maintenance,

1 and costs. They weren't convinced that we would  
2 have any energy savings at all. And they were  
3 concerned about the safety factor, as well.

4 So with that, I am done with my  
5 presentation.

6 MS. RAITT: Thanks. Next is Bryan Pham  
7 from Southern California Edison.

8 MR. PHAM: Hello, my name is Bryan Pham.  
9 I'm the Senior Manager with Southern California  
10 Edison. So thank you for the opportunity to be  
11 here to present what we're doing at Edison with  
12 the Distribution Volt/VAR Control project and in  
13 relation to CVR, conservation voltage reduction.

14 Now, throughout this presentation I will  
15 refer to Distribution Volt/VAR Control as DVVC to  
16 keep it short.

17 Just real quick here, one thing to note  
18 now is that we have 15 million customers,  
19 approximately, probably a little bit more. And  
20 the main thing on this one is Edison is really  
21 supporting the green gas reduction, basically  
22 effort that the State is doing.

23 So before we talk, and talk about  
24 Distribution Volt/VAR Control, you can't talk  
25 about how the solution is without really



1 understand what does Distribution Volt/VAR  
2 Control mean. So let's talk about why the  
3 utility needs to control voltage and VAR.

4 Voltage is an easy one. Everybody  
5 probably works with that. A utility, like  
6 Edison, required to maintain the voltage within a  
7 range. If the voltage gets too high or too low  
8 outside the operating range, basically it won't  
9 work. You can't turn on your TV or things just  
10 doesn't work well.

11 Well, VAR, I'm going to try to simplify  
12 VAR a little bit. It's one of the things that's  
13 a little harder to explain, but I'm going to try  
14 my best. So VAR really stands for volt and  
15 reactor, and without really get to what that is,  
16 and I'm explaining why is it important.

17 So VAR consists of both inductive and  
18 capacity load. So inductive load basically comes  
19 from customer appliance or customer equipment,  
20 things that usually have a motor. You know, in  
21 the house that will be appliance, like a washer  
22 and dryer has a motor in it, so it creates  
23 inductive load.

24 Okay, so now what happened is when the  
25 VAR exists on the system it creates some

1 inefficiency. Because what happens is and, you  
2 know, without going to the math is, as you know  
3 it's we use AC outlet current. When the current  
4 way form and the voltage way form are not in the  
5 sync, they start getting out of sync, meaning  
6 they don't peak together you can have some  
7 inconsistency on the system.

8           So by adding capacitors to the system it  
9 can fill out the inductive load that's created  
10 from the appliance. And when that happens it  
11 could bring it back closer to zero VAR flow and  
12 that creates a condition we call in phase, the  
13 current goes in phase and that increase the  
14 system efficiency. So that's why we control VAR.

15           The other thing we control in VAR,  
16 without VAR we have about 14,000 capacitor bank  
17 on our system and over 1,000 substation capacitor  
18 banks. To see how important that is, because you  
19 have to supply VAR somewhere, and if you're going  
20 to turn off the -- right now we're going to turn  
21 off all the 14,000 cap bank and the 1,000  
22 substation cap bank, the entire area in Southern  
23 California would go black. That's how important  
24 that is. So it maintains system stability.

25           Now, so Edison, for the last 50 years

1 have basically have chosen to control voltage and  
2 VAR by using capacitors. And on distribution  
3 capacitor, meaning they have to install on the  
4 distribution circuit and the substation. So now,  
5 the capacitor, they can be turned on and off and  
6 when that happens they can either raise or lower  
7 the voltage on the circuit, out in the field.  
8 And that in effect raises or lower customer  
9 voltage.

10           The problem is though the efficiency here  
11 is the capacitor are not optimized. By that what  
12 I mean is they basically function on a stand-  
13 alone basis. They sense the local voltage and  
14 they turn on and off, but it's based on what they  
15 see at that location. They do not communicate to  
16 each other and coordinate together.

17           So because of that there's most of the  
18 time we have higher than necessary voltage and  
19 higher than necessary energy consumption as the  
20 result.

21           Now, this real quick is the CVR concept.  
22 Actually, Edison have 25 years' experience with  
23 it. Back in '92 we did it. We actually did it  
24 on two entire substations, with 18 distribution  
25 circuits. It's up about 80 NVA load or so. And

1 we actually demonstrate a 2 percent energy  
2 savings. We published a paper and you can  
3 actually go look for it. Now, and then so that  
4 was then.

5           But recently, what we did again in 2015,  
6 and we demonstrate DVVC save more than 2 percent  
7 energy savings as part of the Irvine Smart Grid  
8 Demonstration project. This is a project that  
9 the Department of Energy funded, a project we did  
10 in 2015.

11           So, and then another one and I believe  
12 CEC gave some reference to, or some links to  
13 these two documents here, also is the DOE, in  
14 2010, they published a report to show.  
15 Basically, what they did was a bottom-up  
16 approach. Meaning instead of us, we actually  
17 check and test out in the field, involved  
18 thousands, or tens of thousands of customers  
19 during our demo. They just take their appliance,  
20 you know, washer or dryer, the latest one they  
21 had at the time, the TV, hundreds of different  
22 things and they test it on the appliance basis.

23           So it's an interesting read. It's the  
24 CVR is for real.

25           Okay, so how do we solve the problem of

1 enough optimized capacitor problem? We did it by  
2 leveraging technology and also the modern  
3 equipment that we have now to perform a capacitor  
4 optimization algorithm.

5           And as a result, what happened is they  
6 called in the old capacitor and we lowered  
7 customer voltage without violating the operating  
8 range. And as a result we always verify and,  
9 again, we save the customer energy because of  
10 that.

11           So you may ask what's really the cause of  
12 the energy savings? What you find out, just like  
13 DOE reports show, most of the appliance,  
14 equipment, basically appliance operate within an  
15 operating range. It will work fine within a  
16 range. But exactly increase efficiency when you  
17 actually lower -- a little bit lower on the  
18 operating range. So that's where it comes from.

19           So, basically, real quickly, the  
20 illustration just shows the lower the voltage by  
21 1 percent and you see the NC savings by 1  
22 percent.

23           So what are really the benefit of DVVC  
24 can provide? And this is one of the things, we  
25 did an economic study a couple years back, before

1 we deploying. We are deploying, by the way.  
2 Right now, as of now we have 200, close to 300  
3 distribution substation is being deployed already  
4 over two years, and that's over like 2,000  
5 distribution circuits. And we actually measure  
6 the savings and it's pretty significant.

7           And what you see is the affordability is  
8 the payback ratio, it takes about one month to  
9 pay back the entire effort. I've never seen any,  
10 you know, cost-to-benefit ratio that high, one  
11 month payback.

12           The customers see the savings. We verify  
13 that, again. Environmental, again green gas  
14 reduction. Right, energy that you don't have to  
15 produce. I mean, you're reducing green gas  
16 emission. Operations are excellent.

17           We actually, because of DVVC, we monitor  
18 them remotely and it's all scaled at two-way  
19 control. We have found control of the cap bank  
20 that failed. Before, instead of having to wait  
21 for a while to go out, we send people to go out  
22 whether they fail or not to inspect, we ask  
23 people to go out when they fail. And that's  
24 really increased the efficiency on O&M.

25           And DI integration, the last point,

1 because we lower the voltage and we can control  
2 that totally on the utility side, to benefit the  
3 customer at the same time, as we get more and  
4 more PV penetration sometimes it causes high  
5 voltage. Now, because of DVVC we lower voltage  
6 and that would basically help with the  
7 integration.

8           And when we have the Smart Inverters,  
9 which is still under development for the market  
10 right now, and when we control that, we already  
11 have a method to integrate into the control  
12 algorithm, also. Thank you.

13           MS. RAITT: Thanks. Next is Russ  
14 Griffith from PG&E.

15           MR. GRIFFITH: Hi, good afternoon. My  
16 name's Russ Griffith. I'm with PG&E. In terms  
17 of background, I'm a Navy NUC, termed Smart Grid  
18 Guy. At PG&E I led our Volt Optimization Pilot  
19 over three years. Let our Smart Inverter Field  
20 Pilots as well as our DER Management System  
21 Pilot, DERMS. That got a bit of buzz in the DER  
22 space.

23           I'm going to talk about PG&E's VVO pilot,  
24 as well as some of the studies we've done looking  
25 at what are the potential savings of a wide

1 scale, VVO-driven, CVR deployment across our  
2 service territory. And where Southern Cal Edison  
3 will talk about dynamic Volt/VAR control, and  
4 Glendale will talk about use of DVI's EDGE, PG&E.  
5 we're all about Volt/VAR optimization. That's  
6 our internal branding. So if I go to that too  
7 much, that's my way of saying conservation  
8 voltage reduction.

9           In terms of what we've done, there's a  
10 couple of slides of bullets. I'm sorry for  
11 those. We have some pictures towards the end  
12 which are meant to be a bit of a credibility  
13 statement around some of our Smart Meter-driven  
14 voltage analysis that helps us come up with what  
15 I think is a fairly sophisticated analysis of  
16 what the real potential savings are of driving  
17 CVR savings across our service territory.

18           So this first slide says we had a CPUC-  
19 approved pilot and it lasted just over three  
20 years. We ran this pilot in Fresno, on 14  
21 distribution circuits. And we have verifiable  
22 savings from the pilot. Our two vendors were  
23 Dominion Voltage, Incorporated and Utilidata.

24           Some people say, hey, you piloted VVO, go  
25 out and scale it, you've already found solutions



1 that work. The answer is, yes, we have.  
2 However, our vendor selection for the pilot in  
3 2014 versus our present planning around how do we  
4 deploy at scale, we're looking at potentially  
5 different sort of what we'll call a solution  
6 architecture. It's all about the systems  
7 integration that drive system performance and  
8 really good system up time.

9           We chose DVI and Utilidata in 2014  
10 because we thought given our constraints of the  
11 pilot they would show the true potential of what  
12 CVR savings exist in our system.

13           What we're looking at now is an advanced  
14 distribution management system, ADMS. It's  
15 integrating our distribution SCADA with our as  
16 switched model of the distribution system, where  
17 the topology changes minute-by-minute of the day.  
18 When there's outages, a car hits a pole, the  
19 squirrel jumps between wires, or we do  
20 maintenance on the distribution system. The  
21 topology of the system matters in determining  
22 what control set points have to go out to the  
23 capacitors and voltage regulators, and load tap  
24 changes in the substation.

25           And that's why we think the integrated

1 system is what will work best for our customers  
2 for the future. So if we build VVO or  
3 conservation voltage reduction on top of the DMS  
4 that gets us a good solution, while also having  
5 optionality for what can Smart Inverters do to  
6 help when they're in the right location, when we  
7 have the right way of engaging with them, or  
8 other solutions to help improve the voltage on  
9 the distribution system.

10           This slide shows a little bit about the  
11 measurement and verification approach that we  
12 took in the pilot. If you're close to the  
13 screen, you can see a neat picture looking at  
14 time series box and whisker plots. Our  
15 measurement and verification approach for the  
16 pilot was have it on for a day, have it off for a  
17 day. When it's off, your opportunity cost is the  
18 lost conservation, but you build a really good  
19 sample size that helps you figure out what's the  
20 baseline. And then, if you can measure baseline  
21 compared to the energy consumption when it's on,  
22 I think that's a very defensible quantification  
23 of savings.

24           I'm going to go on to the next bit. But  
25 our key takeaway was when we piloted it on our

1 system we found CVR factor that was very much in  
2 line with what other California utilities have  
3 seen and with other national studies. And we saw  
4 voltage reduction and energy savings that were  
5 absolutely in line with other California  
6 utilities and other national studies. So  
7 overall, really good.

8           So what's next? Before VVO, PG&E  
9 recorded Smart Meter voltages once a day. We  
10 call it the Midnight Anchor Voltage Read. Read  
11 voltage at midnight and it was really to find  
12 problems on our system. When we started this  
13 pilot, we decided to turn on voltage collection  
14 either every 15 minutes or 60 minutes, based on  
15 what sort of Smart Meter you had. And we scaled  
16 this voltage collection across a million years.

17           And now, we have years' worth of Smart  
18 Meter voltage data. So what does that do?  
19 There's a little equation on the bottom right-  
20 hand side of the slide. The CVR is really  
21 simple. You have a voltage reduction element and  
22 a CVR factor, how the load responds to voltage  
23 element.

24           You can assume the CVR factor based on  
25 industry studies or load forecasts, such as

1 what's happening with LED lighting. But how do  
2 you come up with a great quantification of the  
3 voltage potential reduction circuit-by-circuit,  
4 or substation bank-by substation bank? We think  
5 it's measuring the Smart Meter voltage data.

6           So there's a few pictures here. These  
7 pictures are great if you like picturing in your  
8 mind how you might analyze hundreds of millions  
9 of Smart Meter voltage reads on a time series  
10 basis and turning that into a total resource cost  
11 forecast for VVO deployment.

12           And I'll try to go through that just to  
13 help build some credibility and help us think  
14 about what does it make sense for PG&E or maybe  
15 other IOUs to think about why I'm seeing how VVO  
16 or CVR can help with SB 350 targets.

17           Overall, you want to look at what are  
18 your most limiting voltages on the system. So  
19 you're constantly recording voltages throughout  
20 the day. This plot up here says if you look at  
21 time, and then loading, you can find that little  
22 box and whisker sort of distribution of what's my  
23 distribution of voltages at different points of  
24 load.

25           That bottom, those little bottom dots

1 right there, those are your lower voltages, the  
2 most limiting voltages. If we change the way  
3 that we represent that data to be a distribution  
4 of, what's the lowest voltage at a given bank  
5 loading of 20 megawatts, 21 megawatts, 22  
6 megawatts, we can say, okay, let's find that  
7 first percentile voltage. That's our limiting  
8 factor.

9           We have a distribution for various  
10 discrete loading measurements, 20 megawatts, 21,  
11 22, et cetera. And we can plot that of what's  
12 our limiting voltage correlated with what's our  
13 bank loading for that particular bank, and do an  
14 876ER (phonetic) analysis of saying how many  
15 hours are we at 20 megawatts, how many hours are  
16 we at 21 megawatts.

17           And this voltage delta between a lower  
18 limit, 114 volts, 115 volts -- 115 volts and the  
19 top point of the curve. The area between those  
20 two curves that's your voltage potential. You  
21 turn that into a percent change in voltage that  
22 you can assume and -- and I'm going to skip slide  
23 5 and come back to it, eventually.

24           You have a percent delta V that's  
25 quantifiable. Multiply that by the assumed CVR

1 factor, throw that into an avoided cost analysis.  
2 And at the end of 2016, when our pilot concluded,  
3 we thought that the total resource benefit-to-  
4 cost for VVO could be in the range of low end  
5 1.4, the high end's 2.6.

6 From a -- I don't have the GWH avoided  
7 energy figures in the back of my head. But from  
8 an energy efficiency savings stand point that's  
9 around one and a half percent, 1.9 percent.

10 It does have a pareto-like distribution  
11 of benefits. We wouldn't want to put it  
12 everywhere on your system if and when we deploy  
13 it, but this represents a deployment to about 15  
14 percent of the system. There's various reasons  
15 why the costs vary and the benefits vary feeder  
16 to feeder.

17 So like you're also able to quantify  
18 energy reduction. You can also quantify peak  
19 demand reduction. If you know the available  
20 voltage reduction at a particular loading time,  
21 and you say how coincident or noncoincident is  
22 that with CAISO peak loading, you can come up  
23 with what's my potential peak demand reduction.

24 With our analysis that's not where the  
25 majority of the benefits lie. They really lie

1 with the energy reduction, rather than the demand  
2 reduction.

3 So overall, from a PG&E stand point, piloted  
4 VVO, found out how to make it work on our system.  
5 We're presently looking at an advanced DMS  
6 deployment which enables VVO. And I think we've  
7 got a really good way of figuring out where it  
8 can provide benefits on our system going forward.

9 MS. RAITT: Thank you.

10 MR. YOUNIS: This is Laith Younis, Energy  
11 Commission. So we're going to go through a quick  
12 series of a few questions. Russ, I'll open it up  
13 to you. Can you expand a little bit more on  
14 barriers that slow the large-scale rollout,  
15 outside of the DMS portion, just for better  
16 education and understanding of what we can do to  
17 try to help verbalize it to the public?

18 MR. GRIFFITH: I'm going to echo one of  
19 the earlier barriers that was brought up around  
20 people not necessarily believing that CVR could  
21 exist. I've found myself wishing many times,  
22 when I was trying to evangelize VVO that we had a  
23 Khan academy video or course on how CVR works.  
24 Everyone understand light bulbs. If you reduce  
25 the voltage in, they're a little bit less bright.

1           But, you know, rotating machines,  
2 constant power loads, I think how it works with  
3 the physics behind it in the way that a lay  
4 person understands is really tough.

5           There's a lot of buzz around disruption  
6 on the grid edge and how Smart Inverters could  
7 potentially help control voltage, and VARs, and I  
8 think they can. I don't think that we have  
9 proven control systems. I don't think that it's  
10 only Smart Inverters or only utilities optimizing  
11 their own assets, but people understanding it's  
12 an all-of-the-above, not a one-or-the-other.

13           That approach is also, I think, a  
14 perception barrier that exists.

15           MR. YOUNIS: Got it. Michelle, you'd  
16 mentioned something about a perception barrier as  
17 well. Can you expand on that?

18           MS. NALL: As I mentioned -- oh. As I  
19 mentioned in our presentation, our biggest  
20 barrier were the human factor and overcoming of  
21 bringing the electric staff along slowly. We had  
22 a lot of pushback them, you know, believing in  
23 the program that it's not going to damage any of  
24 their equipment.

25           And also, on the construction site for



1 any safety concerns they had, if we're producing  
2 tap changes on their transformers.

3           We put them in touch with other utilities  
4 with similar systems and they were able to talk  
5 to people with the experience in operating the  
6 same system, which alleviated their maintenance  
7 and other concerns.

8           We also gave them full control over the  
9 system operation and worked with staff to develop  
10 operating procedures with them.

11           We continue to have biweekly meetings  
12 with -- staff meetings on, you know, rolling out  
13 this program to determine -- you know, we do  
14 checks on all the transformers to make sure  
15 they're safe, the gas levels are fine, and  
16 they're comfortable with, you know, implementing  
17 it on those transformers.

18           Then the staffing includes engineers,  
19 people from dispatch, IT, and construction.

20           MR. YOUNIS: Great, thank you for that.

21           A follow-up question, how were you able  
22 to select the various solutions that made up the  
23 CVR for your system? There's a lot of different  
24 software and hardware options available out  
25 there.

1 MS. NALL: In 2010, 2011 GWP replaced,  
2 you know, 100 percent of their electric and water  
3 meters with AMI Smart Meters as part of the DOE  
4 and CEC-supported Smart Grid Project.

5 In 2011, after researching various CVR  
6 technologies, we concluded that the Dominion  
7 Voltage DVI EDGE solution was the best choice to  
8 take full advantage of our AMI systems. It did  
9 not require additional equipment.

10 MR. YOUNIS: That's great. Bryan, can  
11 you expand on that for your --

12 MR. PHAM: Yes, Bryan Pham, SCE. So  
13 first the decision was actually pretty straight  
14 forward. About around 2012 or so, we -- our  
15 SCADA system was basically a homegrown system  
16 which kind of outgrown itself with the number of  
17 device it can -- it's limited to how many devices  
18 it can control, and it's sort of getting harder  
19 and harder to manage.

20 So we, in the process of going out and  
21 selecting a vendor to replace that with a  
22 distribution management system that is more  
23 modern, back then. And so part of that is that  
24 we're going to have a Smart application and that  
25 will be able to do this.

1           And so now it become at the enterprise  
2 level so that the idea is when we're ready to  
3 roll out, the cost to rollout has been so low  
4 that we can just roll out everywhere. We don't  
5 have to look at where we have to roll out.  
6 That's what happened right now.

7           MR. YOUNIS: Great. And this is my last  
8 question. Is additional research or  
9 demonstration needed to determine whether various  
10 CVR technologies are cost effective based on the  
11 loading condition or specific feeder conditions.  
12 And I'll go to Bryan, first.

13           MR. PHAM: Yes. So for us the answer is  
14 because the outcome that we have is actually  
15 pretty smart. It's actually following the load  
16 up to substation level. So as the load goes low  
17 in the middle of the night, it's going to  
18 immediately sense that and adjust to a different  
19 level. And the substation, when you have high  
20 load lighting, or even during the summer when we  
21 have a lot of AC conditioning, it automatically  
22 adjusts itself. And it does that automatically,  
23 24/7.

24           So we do not see the need to basically  
25 adjust anymore. And we actually, we demonstrated

1 again in 2015. We demonstrated again in 2016  
2 when we actually rolled out 8,000 circuits, and  
3 we actually looked at the actual AMI data of  
4 millions of customers, and also looking at their  
5 kWh assumption. We have all that data and we saw  
6 the correlation is pretty much about the same as  
7 what we did during the pilot in 2015.

8 MR. YOUNIS: The same question, Russ.

9 MR. GRIFFITH: Russ Griffith with PG&E.  
10 I don't think we need additional R&D for any of  
11 the methods that either Glendale, SCE, or PG&E  
12 have implemented. I still do think there's going  
13 to be ongoing R&D be it EPIC, or other  
14 initiatives that look at new technology hitting  
15 the grid edge, or just innovation in general.

16 And I'll say it again, the Smart  
17 Inverters are an opportunity, but that's where  
18 the R&D is needed to figure out how to reliably  
19 figure out when they can help, and securely.

20 MR. YOUNIS: That's all the questions I  
21 have.

22 COMMISSIONER MCALLISTER: Okay, yeah, I  
23 have a couple. So I was interested -- so, Mr.  
24 Griffith, I was interested in your kind of  
25 characterization of the opportunity being more on

1 the energy front and not on the peak load front.  
2 And I'm wondering if you can dig into that a  
3 little bit. Like is it that PG&E's loads, sort  
4 of maximum loads just don't correlate or  
5 correspond with the ISO's moments of maximum  
6 demand or does the load, the characteristic of  
7 the load change somehow at the peak that it  
8 doesn't lend itself to CVR, or what?

9 MR. GRIFFITH: That's a really good  
10 question. From a -- we just saw there's less  
11 opportunity to reduce voltage when we're close to  
12 peak load. If the peak load on our system is  
13 very coincident with the CAISO peak loading,  
14 there's going to be a lot of voltage drop across  
15 the distribution circuit and less overall  
16 opportunity to bring it closer to the bottom of  
17 what we call Electric Rule 2.

18 COMMISSIONER MCALLISTER: Oh, okay, I got  
19 it.

20 MR. GRIFFITH: Or the lower NC limit.

21 COMMISSIONER MCALLISTER: Okay, I got it.  
22 So that's sort of -- my next question had to do  
23 with that lower limit. So, you know, how much  
24 opportunity -- or do you think it's feasible to  
25 kind of go out there, and I think this is sort of

1 what Smart Inverters would hope to do, right, but  
2 go out there and sort of pick off the problem  
3 voltage spots, like on the low end, so that you  
4 could sort of bring everybody up to a minimum and  
5 then decrease the whole thing.

6           You know, what sort of an effort -- what  
7 might that look like? I mean, is that just a  
8 huge, undoable thing for a big utility or is  
9 it  
10 -- you know, is the investment too large? Have  
11 you guys looked at that sort of approach to  
12 really prepare the distribution grid for CVR at  
13 scale?

14           MR. GRIFFITH: Another good question. I  
15 don't feel real prepared to answer that right  
16 now. I think that what we'd want to do is  
17 continue to look at the voltage data and figure  
18 out -- and I think we've gotten good at deciding  
19 to make investments that we have historically  
20 made.

21           COMMISSIONER MCALLISTER: Uh-hum.

22           MR. GRIFFITH: Capacitor, putting  
23 capacitors on SCADA, putting voltage regulators  
24 on SCADA. Putting SCADA inside the substation on  
25 the load tap changer. And putting new control

1 systems inside the distribution control centers.

2 We've got those costs pretty well tuned  
3 in, I think. And then we can quantify the  
4 voltage reduction. And I think we've got a good  
5 business case there from how we can -- we called  
6 it conditioning. We called it primary  
7 conditioning and secondary conditioning. What  
8 other physical modifications can you make? What  
9 other -- where can you leverage Smart Inverters  
10 or other solid state power electronics --

11 COMMISSIONER MCALLISTER: Yeah.

12 MR. GRIFFITH: -- to nudge up some of the  
13 voltage where you want. It depends on do you  
14 have sufficient Smart Inverters where you really  
15 need them. Is there room on the poles to put the  
16 other power electronics, or room in the volts, or  
17 on the pads. And that's -- we thought about it  
18 and we realized, uh, for the pilot that we had,  
19 and the bandwidth that we had, and the risk  
20 profile that we had it was more to undertake than  
21 we could at the time.

22 COMMISSIONER MCALLISTER: Yeah, okay.

23 MR. GRIFFITH: I think in the long run we  
24 have to consider all those opportunities and be  
25 really thorough in figuring out what -- how do

1 they enhance the economics.

2           COMMISSIONER MCALLISTER: I mean I guess,  
3 you know, a lot of the conversation of grid  
4 reliability is moving to the distribution grid,  
5 right, and with the distributed energy world kind  
6 of upon us. So I wonder if there are places we  
7 can piggy-back investments that may be being made  
8 for some other reason, you know, to incorporate  
9 lots of remote power, you know, distributed  
10 power, or demand response, or whatever else and  
11 to do these kinds of things. I mean that's  
12 essentially what a Smart Inverter would do, I  
13 guess.

14           Yeah, maybe Edison has a view on this,  
15 too. I mean, I guess it sounds like you have it  
16 at the sort of substation level you've got it  
17 figured out. But I wonder further downstream.

18           MR. PHAM: Yeah, so we actually kind of  
19 looked at that. And one of the things is because  
20 we use capacitor already and it's already  
21 something that we have to do anyway, and it's  
22 kind of spread out over the circuits, so the  
23 circuits have already been kind of level.  
24 Meaning if you use low tap change and voltage has  
25 to be very high at the substation, then the



1 voltage drop down at the end a lot.

2           For us it's not like that. We kind of --  
3 it's all over the place so we coordinate. And  
4 the voltage doesn't go, slip down from front end  
5 to the end, it kind of flows more flat.

6           And what happens is that there are device  
7 out there that we looked at. Let's say you  
8 install on a few -- the theory is if you install,  
9 like you say, say a few spots to bring the  
10 voltage up and then you think you can lower it  
11 down that may work well with VC. For us, the  
12 problem with levels, it can be anywhere. Because  
13 it can be overloaded transformer, it can be right  
14 off the sub, and it can do that. And we already  
15 flattened the voltage out with the capacitor  
16 band, so that doesn't work too well for us.

17           And the other thing when we're looking at  
18 that because we're doing tens of thousands of  
19 circuit switching a year. That's just normal  
20 operations to move load around when we have an  
21 outage. Every time you move that out all the  
22 locations, even if you engineer correctly, become  
23 a problem. It no longer applies.

24           So we've looked at that actually over two  
25 years and we couldn't find a business case, and

1 we couldn't find a practical, you know, basically  
2 things that move on to the down mainly because of  
3 the way we control voltage and VAR in our system,  
4 and also what I just described.

5 COMMISSIONER MCALLISTER: So interesting.  
6 So it sounds like some of this has to do with  
7 structural differences between PG&E and Edison's  
8 systems, like in terms of just how you've got  
9 your substations and feeders put together. Is  
10 that a fair statement?

11 MR. GRIFFITH: There are differences in  
12 how the systems are built.

13 COMMISSIONER MCALLISTER: Okay.

14 MR. GRIFFITH: Can I add one thing?

15 COMMISSIONER MCALLISTER: Yeah,  
16 absolutely.

17 MR. GRIFFITH: So we are wrapping up an  
18 EPIC pilot right now in San Jose, where we worked  
19 with SolarCity, now Tesla, to drive the early  
20 adoption of Smart Inverters at certain customer  
21 premises. And then we installed, we'll call it a  
22 minimum viable product, DERMS, which is really an  
23 ADMS plus that was looking at how do we leverage  
24 a large utility on battery, behind-the-meter  
25 batteries, and how can we use the customer-sided

1 Smart Inverters to help alongside utility  
2 capacitors.

3 COMMISSIONER MCALLISTER: Interesting.

4 MR. GRIFFITH: So, able to study it in  
5 the lab. Able to look at it in the field and  
6 drive our own understanding of when you do a --  
7 when you're trying to optimize what's happening  
8 in the field, when you want to use the utility  
9 capacitor or the utility device relative to a  
10 Smart Inverter based on the reliability and a  
11 whole host of other factors.

12 COMMISSIONER MCALLISTER: Yeah.

13 MR. GRIFFITH: But it's definitely  
14 something we're trying to understand more of.

15 COMMISSIONER MCALLISTER: I mean in  
16 Edison there's at least one project that's got a  
17 little housing development that's actually  
18 looking at -- you're actually looking at these,  
19 you know, if we locate a battery in a node of  
20 houses, you know, that sort of Edison owns and  
21 can operate maybe that's a more proactive way. I  
22 mean, capacitors are great, right, but maybe  
23 there's a solution there, too.

24 Any questions, anybody else?

25 MR. YOUNIS: Let's see. Let me see if I

1 have one more.

2           COMMISSIONER MCALLISTER: I think that  
3 pretty much does it for me. Anything else?  
4 Anybody have a point they wanted to make that  
5 they haven't made, yet?

6           MR. PHAM: I just want to add that, you  
7 know, I do appreciate to be able to share the  
8 result. I believe CVR is really energy  
9 efficiency if you really think about it, and if  
10 you encourage people. It's not just CVR, it's  
11 really energy efficiency at the real -- that's  
12 how we save energy and promote that way. So it's  
13 a great thing for, you know, the customer.

14           COMMISSIONER MCALLISTER: Yeah. So I  
15 mean maybe just to back up and put this in a  
16 little bit of context. I mean, you know, we're  
17 in the electronic age, now, and so it used to be  
18 -- CVR came up in the analog era, right, and so  
19 it wasn't -- we couldn't do the things that we  
20 can do now with power controls, and we couldn't  
21 slice up -- you know, slice up individual -- I  
22 mean we couldn't manipulate the load shape like  
23 we can now.

24           And so I think since we're already going  
25 to be putting a whole bunch of electronics out on

1 the distribution grid, you know, when you think  
2 about integrating this kind of functionality.  
3 And, you know, we can do it without blowing up  
4 televisions and motors right now, where we  
5 couldn't before.

6 MR. PHAM: Yeah. Now, so you can see  
7 that there's many companies right now, like SCE,  
8 PG&E and hundreds of other that start going to  
9 the more modern technology, you know, the ADMS,  
10 and just like us. And it allows you to basically  
11 role the CVR program out a lot easier systemwide,  
12 in a very short period of time once you got it  
13 set up.

14 COMMISSIONER MCALLISTER: Yeah, that's  
15 great. Okay, well thanks very much. Really  
16 appreciate all your time and effort to come.

17 I do have one blue card. I'm going to  
18 make one exception because we have a gentleman  
19 who needs to catch a flight. And so I'm going to  
20 let Michael Jung make a comment so that he can  
21 rush to the airport.

22 And then everybody else, I'm going to  
23 still make you wait until the end. Go ahead,  
24 sir, thanks.

25 MR. JUNG: Thank you, Commissioner

1 McAllister. My name is Michael Jung. I'm from a  
2 company called Varentec, a startup in Santa  
3 Clara. We do voltage optimization.

4 Now, my question to the panel, which has  
5 now departed, so maybe it's a question at large.

6 COMMISSIONER MCALLISTER: Sorry.

7 MR. JUNG: Is that SB 350, all of these  
8 pilot results seem to have taken place before SB  
9 350 passed. And one of the little lines in SB  
10 350 explicitly includes CVR in the definition of  
11 energy efficiency for the State of California.

12 My question is how does this change the  
13 math? How does this change the way that the  
14 utilities now think about or approach CVR? Does  
15 this, you know, change the terms of engagement  
16 because now it is included in the energy  
17 efficiency definition?

18 Mr. Pham, I thought you made a great  
19 point that, you know, we can think about it and  
20 now that it's the law of the land I wonder how  
21 that changes how the utilities are thinking about  
22 it. Thank you.

23 COMMISSIONER MCALLISTER: Thanks. Anybody  
24 from the previous panel want to answer that? I  
25 mean I can take a shot, too. Well, let's let the

1 panel and then we can --

2 MR. GRIFFITH: Russ Griffith from PG&E.  
3 Unfortunately, I don't have a good answer on  
4 that, yet. I think we're trying to figure it  
5 out. Just some transparency, that's where we are  
6 right now.

7 COMMISSIONER MCALLISTER: I think what SB  
8 350 did was elevate CVR as something that -- they  
9 acknowledge that it's important and, you know,  
10 ask us to go forward to see what the potential  
11 is. But thanks for your question.

12 So let's move on to the next panel.

13 MS. RAITT: So we have a series of  
14 speakers on Accounting for Greenhouse Savings  
15 from Efficiency Programs.

16 And the first speaker is Shucheng Liu  
17 from California Independent System Operator.

18 MR. LIU: Good afternoon, everyone. My  
19 name is Shucheng Liu from California ISO.

20 My presentation today is about how the  
21 ISO, our hourly GHG emission data can be used to  
22 support the policy development for energy  
23 efficiency.

24 The California ISO tracks GHG emissions  
25 through its market operation and publishes two

1 reports. The first report is the monthly GHG  
2 emission tracking report. This report started in  
3 November 2016 and is published on a monthly  
4 basis. It has all the monthly aggregated  
5 numbers.

6 And the second report is on the  
7 databases, and tracking on the same thing market  
8 operation and the GHG emission. It has the data  
9 in the 5 million resolution.

10 The second report was started April 10th  
11 of this year, so we have only about two months of  
12 data.

13 (Buzzer sounds)

14 MS. RAITT: Sorry.

15 COMMISSIONER MCALLISTER: Yeah. No, your  
16 time is not up.

17 MS. RAITT: My goodness.

18 COMMISSIONER MCALLISTER: That's what I  
19 get for flouting the rules here.

20 MS. RAITT: I apologize. Please go on.

21 MR. LIU: So this about the full report  
22 and if you go to the ISO webpage, you can easily  
23 find both the reports.

24 We have to make a statement first that  
25 the GHG emission from the California ISO is an



1 estimate. It's not an official data. The  
2 official GHG emission data is always the  
3 California Air Resource Board.

4           We said it's estimation specifically  
5 because the GHG emission associated with  
6 electricity imported to serve California ISO load  
7 is difficult. It's very challenging to track.  
8 This is because there are, you know, different  
9 types of import. But one type of import we call  
10 the system resource, which we don't know which  
11 generator generate electricity, but we know which  
12 bands of authority gave us the electricity.

13           For example, we import from BP, and the  
14 BP is we gave you this much energy, at this  
15 price, at this specific time, but the BP does not  
16 let us know it comes from which generator or  
17 which generators.

18           Secondly, because some people call it the  
19 secondary kind of impact. If this out-of-state  
20 generator does not ship energy to California ISO  
21 it can generate to serve its own load. When this  
22 generator ships the energy to California ISO,  
23 another generator or generators is to be  
24 dispatched to serve the load that this generator  
25 was supposed to serve.

1           The other generator dispatched for this  
2 specific purpose is not clear to us, so we don't  
3 know which one or which ones were dispatched in  
4 place to, you know, to support, to meet the load  
5 that the energy was shipped to the ISO, to the  
6 California ISO.

7           So based on that, we are using the best  
8 information and the methodology available to us  
9 at this moment to do the calculation. Therefore,  
10 we say it is an estimate. It's not, you know,  
11 absolutely accurate. It's not official data.

12           So anybody can use the ISO data for their  
13 purpose. However, this data cannot be cited as  
14 the official data.

15           This is ISO calculation. ISO calculate  
16 GHG emission for two type of electricity  
17 supplies, using two different type of  
18 methodology. The first category we call resource  
19 specific, including the in-ISO generators and  
20 another type of what we call the dynamic schedule  
21 which are outside generators that schedule or  
22 participate in the ISO market directly.

23           So when we dispatch them, we know exactly  
24 which generator generating how much at what heat  
25 rate. So the calculations are based on the

1 resources of heat rate, and the fuel content, GHG  
2 content of the fuel, and its dispatch level.

3           So the fuel content we use, for natural  
4 gas we use, you know, 111 pound for MMBtu. For  
5 coal we use 2018 pound per MMBtu.

6           So this part is absolutely accurate and  
7 we can say that, you know, it can be used very  
8 accurately.

9           The second category, this is what we say  
10 is unspecified import. Unspecified import  
11 includes, like I said, import from the system  
12 resource, which we don't know the generator. And  
13 also includes some imports from generators we  
14 know in the EIM market.

15           We put the EIM transfer into this  
16 category because, like I said, it's a secondary  
17 effect. We don't have accurate kind of capture  
18 on that. Therefore, we put the EIM transfer into  
19 the secondary category.

20           In this calculation we use the emission  
21 intensity that we obtain from the Air Resource  
22 Board times the volume from the specific import.  
23 The import and the emission intensity are  
24 different for different type of imports.

25           For the import from a BPA, from PowerEx,

1 and from Tacoma we use the ARB assets controlling  
2 supply system emission factors which, you know, I  
3 have a link there and you can go there and find  
4 out the exact how -- you know, what the numbers  
5 are, which is much, much lower than the default  
6 number, which is the second one. Because it's  
7 CARB default emission factor, which is at the  
8 0.428 metric ton per megawatt hour for the import  
9 from other balancing authorities.

10           And just to give you a sense, you know,  
11 for the -- as a controlling factor, for example  
12 from BPA. BPA is at the .012 metric tons per  
13 megawatt hour versus a .428, which is much, much  
14 lower because BPA has most of generation from the  
15 hydro and the renewable wind generation.

16           This is a one important point we want to  
17 make clear because there was a debate about this.  
18 California ISO gets GHG emission credit for  
19 export electricity. ARB has a rule that say that  
20 export energy does not get GHG credit.

21           But we understand that the ARB rule is  
22 talking about export to outside of California.  
23 But the ISO export, a large portion of ISO export  
24 goes to balancing authority within California.  
25 For example, that bank has existed in

1 transmission contract with ISO, which has power  
2 flow through ISO area get into bank area.

3 For example, they have energy coming from  
4 the northwest, getting to the ISO first, and then  
5 getting to bank. It counts ISO importer and then  
6 counts ISO export, and then counts bank import.

7 So ISO first get a GHG for importing that  
8 energy into the ISO. And then bank get the GHG  
9 account for the energy they import from the ISO.  
10 And if ISO does not get credit for the exporting  
11 to the bank, then this GHG counting for export  
12 and import, they're counted twice.

13 And ISO does have some export to out-of-  
14 state balancing authority, but at this time the  
15 large portion of ISO export goes to the  
16 California balancing authority. Therefore, ISO  
17 definitely should get credit for that.

18 So this is what we are doing differently.  
19 For example, like in the CPUC IRP model, that  
20 model models the California ISO, but the model  
21 does not give credit for the energy exported from  
22 the ISO.

23 So we want to make sure that this is --  
24 you know, everybody understand, everybody's on  
25 the same page that the ARB rule for not giving

1 GHG credit for export energy applies only to the  
2 export to the out-of-state balancing authority,  
3 not to the in-state balancing authority.

4           So here are the hourly GHG emission  
5 intensity or the average, which we calculate on  
6 the daily basis because we have only about, you  
7 know, two month data. This is the biggest of  
8 every-day data. And this chart is color-coded  
9 for everything, not for the whole month.

10           Because for the whole month some days has  
11 higher, some days have lower, and you get the  
12 kind of color confused, say. Because what we  
13 care here, specifically for the energy  
14 efficiency, we want to see which hours within  
15 each day you have a high GHG emission intensity  
16 or averaging GHG emission. What hours you have  
17 low GHG emission.

18           So that's why we decide to color every  
19 day based on its own data. So from here you can  
20 see a very clear pattern, especially in the  
21 middle day. In the middle day we have a lot of  
22 solar generation. We don't need much gas  
23 generation. We don't need much import.

24           Because in the model, besides the import  
25 from the northwest, import from other has a

1 higher GHG content than in-state generation.

2           So for the middle part of the day the GHG  
3 emission content is pretty low.

4           The highest point, early evening. So  
5 when the sun is going down and the solar  
6 generation is dropping out quickly, and then the  
7 evening load is picking up. That's where we need  
8 a lot of generation, intergeneration. We need a  
9 lot of imports.

10           This is one thing we have been talking  
11 about, that people are talking about, import.  
12 Import, you need import for energy. Actually,  
13 ISO get a lot of flexibility. We're talking  
14 about flexibility, flexibility. ISO get a lot of  
15 flexibility from import. Import is not just for  
16 energy. It's for flexibility, too. Because  
17 import they have -- for example, BPA, they have  
18 aggregated generation resource and they can  
19 actually run quite quickly.

20           That's where we see the highest GHG  
21 emission intensity or average. And then as time  
22 goes on through the -- you know, later night,  
23 across the middle, you know, midnight and through  
24 the early morning, the GHG emission goes down  
25 because the load is going down. It's going down,

1 down to the early morning and then runs up again  
2 when, you know, the day is starting and before  
3 the sun comes up.

4           So this is for April. For April we know  
5 the last column is for all the 24 hours of all  
6 April days, which has 20, 21 days. One day we  
7 have missing data there.

8           For the whole April data here the average  
9 is about .215. So .215 metric ton per megawatt  
10 hour.

11           This is for May. It's another whole  
12 month of May. This is from May 2st to May 24th.  
13 And it has exactly the same pattern except, you  
14 know, some days you can see the early mornings,  
15 you know, in the morning it still has a pretty  
16 high GHG content. And you can see that actually  
17 it can get translated from the end of the other,  
18 previous day.

19           So that means that maybe some of the long  
20 start, or long run time, long minimal run time  
21 generators get dispatched. And when they get  
22 dispatched, they cannot be shut down so quickly,  
23 so they probably keep running and keep running  
24 until certain hours that they can be shut down.  
25 Those are more likely due to the operational



1 constraints.

2           So for the whole May or most part of May  
3 the average is .223, slightly higher than April.  
4 This is probably because, you know, the load is  
5 slightly higher. You know, the hydro conditions  
6 are -- you know, run of river, you know hydro  
7 generation, SHR.

8           So based on that here we have some kind  
9 of observation, like I said earlier. The highest  
10 GHG emission is in the early evening. That's  
11 where, probably, if we have energy efficiency  
12 that's probably energy efficiency can come in and  
13 be used more effectively to reduce the GHG  
14 emission.

15           And in the middle day, in the middle day  
16 I can tell you that in the middle day we don't  
17 have zero emission, even though we have so much  
18 solar, even though we have sometimes more, than  
19 not, we have curtailing of the solar generation.  
20 But we still have emission. We don't have zero  
21 emission, like people thought. Oh, you have so  
22 much solar, then you can shut down everything.  
23 That's not necessarily true.

24           Because in order to run, you know, to  
25 operate the system you need the resource that you

1 can use to provide all the reserves. At this  
2 time, renewables, in the summer of 2016 ISO,  
3 together with NREL and First Solar, we did kind  
4 of the test. That to use solar to provide the  
5 reserve, including frequency response and other,  
6 spending and regulation. And the test shows that  
7 it's absolutely capable of doing that. But at  
8 this time, the solar don't have that, you know,  
9 capability, yet.

10           And secondly, the battery. Battery  
11 certain is one ideal type of resource that can  
12 have, you know, emission-free resource and also  
13 can provide the reserve. However, at this time  
14 we have a small number of battery. I believe up  
15 to now we have about 140 megawatts battery  
16 storage in the system. But our spinner reserve  
17 is probably in the 2,000 megawatt range.

18           Our regulation requirement is probably  
19 between 300 up to 800. It varies from time to  
20 time.

21           And also, pump storage. You know, when  
22 we talk about the new pump storage, and the new  
23 technology is very, very attractive and exciting.  
24 You know, variable speed that you can do  
25 everything, you know, they're supposed -- you

1 know, you want them to do even in the pumping  
2 mode.

3 But for all our existing pump storage we  
4 don't have variable speed pump. It can only pump  
5 if they are in the pumping mode. They are  
6 supposed to be in the pumping mode in the middle  
7 day because the price is so low. In pump mode  
8 they cannot provide reserve. Therefore, we still  
9 need gas generation to provide a reserve.

10 That's why in the middle of the day we  
11 still have an emission. That's where even if you  
12 have energy efficiency it come in, the ability to  
13 suppress what? The economics of gas generation  
14 resource that is actually providing reserve at  
15 that time.

16 So based on this information, based on  
17 the data I showed us, the idea time for energy  
18 efficiency to come in is in the evening, not in  
19 the middle day. In the middle day it does not  
20 help. In the middle day we would probably  
21 encourage people to use more electricity.

22 And future improvements. We have been  
23 thinking about, you know, the EIM transfer is  
24 actually resource, basically generation  
25 information we have for them. But we cannot use

1 it to calculate the GHG emission at this time  
2 because of secondary, you know, effect.

3 We are thinking about it. We have, you  
4 know, some idea. We probably, you know, pretty  
5 soon we're going to implement methodology.

6 The rough idea is like this. We're going  
7 to run the EIM market twice. We're going to run  
8 it once which does allow energy transfer between  
9 the ISO and the rest of EIM entities. And then  
10 we're going to run again and open up the gate and  
11 allow the transfers. So we'll see the difference  
12 between the two.

13 So if the second run has GHG emission  
14 increase that is the total GHG emission ISO  
15 energy transfer should be responsible for.

16 And we don't have a timeline, yet, for  
17 this improvement, but I expect that should come  
18 pretty soon because we are really serious about  
19 this.

20 That's all I have, thank you.

21 COMMISSIONER MCALLISTER: Thanks very  
22 much. Appreciate you being here.

23 MS. RAITT: Thank you. Next is Gavin  
24 McCormick from Watt Time. Is Gavin here? They  
25 released Gavin.

1           COMMISSIONER MCALLISTER: I was assuming  
2 he was remote, but is that not the case?

3           MS. RAITT: Apparently not.

4           COMMISSIONER MCALLISTER: Oh, okay.

5           MS. RAITT: I guess we lost him.

6           All right. Well, we'll go on to Angela  
7 Tanghetti and Michael Kenney from the Energy  
8 Commission. Angela.

9           MS. TANGHETTI: Good afternoon. My  
10 name's Angela Tanghetti and I work in the Energy  
11 Supply Analysis Office. And I work on a team  
12 that develops WEC-wide production cost model  
13 datasets in support of the IEPR.

14           Martha Brook, an advisor to Commissioner  
15 McAllister, approached me some months back asking  
16 if our group could provide assistance on  
17 quantifying emission savings from energy  
18 efficiency programs that are included in the IEPR  
19 2017 adopted demand forecast.

20           Our team, in the Supply Analysis Office,  
21 agreed to provide a metric for hourly statewide  
22 system average emission intensity values for all  
23 years in the forecast period, which is 2019 to  
24 2030.

25           PLEXOS is a production cost model the

1 Energy Commission has licensed for the past ten  
2 years. And using this 2017 IEPR PLEXOS results  
3 we developed a method that post-processes results  
4 to calculate system average emission intensity  
5 projections.

6 So I'm here today to describe that method  
7 and highlight some of the key assumption that  
8 directly impact the emission intensity value.  
9 Shucheng did a good overview on some struggles  
10 that we face in not only the real-time  
11 calculation, but in the projections of emission  
12 intensity as well.

13 So the 2017 IEPR PLEXOS results include  
14 hourly generation and fuel use on a WEC-wide  
15 basis. And also, from a California-only  
16 perspective the model provides projections of  
17 hourly in-state generation and fuel use, as well  
18 as imports to California. Again for the in-state  
19 generation, as Shucheng said, you use the fuel  
20 use and a conversion factor to calculate  
21 emissions and it's a very straight forward  
22 calculations.

23 However, as I emphasize on this slide,  
24 and Shucheng did as well, that emissions from  
25 imports is complicated since the model

1 projections are in terms of energy or megawatt  
2 hours, and they're not fuel specific.

3           So what we do know about imports is  
4 California's ownership shares of resources  
5 located outside of California. So in our model  
6 we're able to reserve some space on the import  
7 path to account for these ownership shares by  
8 their fuel type.

9           For example, Energy California contracts  
10 with their imports from coal, natural gas, hydro,  
11 nuclear is assigned an emission factor based on  
12 this fuel type.

13           All other energy flowing into California  
14 from paths in the southwest are given what  
15 Shucheng described earlier, too, is the ARB  
16 default emission factor.

17           Now, for imports from the northwest  
18 portion of the WEC, and also specified imports  
19 from all other WEC regions to meet the California  
20 RPS we made further assumptions that impact the  
21 emission intensity calculation.

22           Based on some previous studies the Energy  
23 Commission conducted, as well as some work by the  
24 Northwest Power Planning Council, we understand  
25 that exports from the northwest region consist of

1 about 80 percent hydro and 20 percent are  
2 unspecified. Therefore, hourly model projects of  
3 imports from the northwest to California are  
4 assigned an emission intensity factor of 20  
5 percent of that ARB unspecified rate.

6 Emissions associated with RPS imports to  
7 California currently are a topic in other forums,  
8 to be decided later in 2018. But at this time,  
9 again, we're making a simplifying assumption  
10 regarding RPS imports to California and their  
11 emission intensity.

12 If you have this slide, could you just  
13 cross out that 80 percent on the third bullet.  
14 This is a little mistake in here.

15 So by the end of the forecast period  
16 these RPS regulations require that only 15  
17 percent of RPS obligation can be met by this  
18 portfolio content 2 and 3, also referred to  
19 bucket 2 and 3 out-of-state renewable resources.

20 So bucket 2 and 3, or PCC 2 and 3 don't  
21 have a direct connection into a California  
22 balancing authority. They get here via various  
23 paths, so they're firmed and shaped in other  
24 ways.

25 And there's also legacy out-of-state



1 resources, referred to as portfolio content  
2 category 0 or bucket 0. And again, those are  
3 kind of grandfathered RPS resources that, again,  
4 don't have to have its first point of  
5 interconnection to California, but they do count  
6 towards the RPS.

7           So, therefore, the hourly model  
8 projections of imports that are RPS-specific are  
9 assigned an emission factor. Again, it's the  
10 same as the northwest, it's 20 percent of the ARB  
11 unspecified rate. So any imports that are RPS  
12 coming into California, again we discount them  
13 that only 20 percent come with some GHG  
14 associated with them.

15           So now, based on all those words in the  
16 other slide here's a table of numbers, which we  
17 actually are using in our projections. So it  
18 shows you exactly the projection of the metric  
19 tons of energy we're accounting for as when we  
20 get simulation results for imported energy from  
21 these specific regions into California. So  
22 again, this is just a translation of the other  
23 words in the slide.

24           But again, as Shucheng pointed out that  
25 exports we're not giving any credit for. And how

1 the Energy Commission looks at it is from a  
2 statewide basis. The ISO looks at it from an ISO  
3 basis, and they export to balancing authorities  
4 within California. But in the context of  
5 California, we're not allowing any credit of  
6 exported power, GHG credit on exported power.

7           Some other key variables that are in our  
8 2017 IEPR assumption simulation modeling and that  
9 do impact the emission intensity calculation.  
10 Some have contended that our 2017 IEPR out-of-  
11 state renewable portfolio is optimistic.

12           However, over the forecast period WEC-  
13 wide utility RRP's and trade press include over  
14 16,000 megawatts of coal retirements, with  
15 approximately 8,000 megawatts announced natural  
16 gas replacement at those sites.

17           Our assumption is that some of this  
18 excess transmission capability that was  
19 previously dedicated to these coal generators  
20 will be available for new renewables to meet the  
21 California RPS. So again, you know, we're  
22 looking at it from a statewide perspective when  
23 we look at the imports allowed to count towards  
24 the RPS.

25           So based on the PLEXOS tool, and the

1 method, and assumptions described in these  
2 previous slides we're able to calculate annual  
3 and hourly system average emission intensity for  
4 in-state generation, as well as the emission  
5 intensity of projected imported energy to  
6 California.

7           And the trend of system average emission  
8 intensity we observe over the forecast period is  
9 declining.

10           So the next slide basically is based on  
11 the method and assumptions, again described on  
12 the previous slides, based on our PLEXOS  
13 simulation results. In support of the 2017 IEPR,  
14 these are the mid-demand case results we  
15 calculated annual emission intensity values.

16           So as not to make the table too busy, I  
17 just picked out selected years. So you can see  
18 from the beginning of the forecast period,  
19 through 2030, what the metric tons of emissions  
20 from a statewide perspective look like. Again,  
21 that metric tons includes in-state generation as  
22 well as imports. And then the energy number is a  
23 simple calculation where you just divide these  
24 two. Again it's, you know, after the post-  
25 processing to calculate the metric tons of CO2

1 emissions.

2           We do plan to provide the SB 350 EE team  
3 hourly system average emission intensity values  
4 for all hours of the forecast period. But for  
5 this presentation we calculated similar to what  
6 Shucheng did is a value for each month of the  
7 forecast period, and an hourly average for each  
8 day in that month.

9           The fall time period is showing the  
10 highest late night and early morning emission  
11 factors and we attribute this to the decline in  
12 hydro generation during the fall time period,  
13 combined with the minimum load, local and  
14 frequency response obligations that we are  
15 meeting with natural gas. So we add that  
16 constraint to our simulation tool.

17           Again, the midday rates are decreasing  
18 more than the late night, early morning hours.

19           So now, for another picture, this is the  
20 2019 simulation results. Again, we discounted  
21 the RPS to have 20 percent of it come with GHG.  
22 And this is our emission intensity calculation  
23 for the year 2019. So again, on the left column,  
24 going down it's the hours in the day. And going  
25 to the right it's the months of the year.

1           So again, as Shucheng showed, too, is our  
2 late night and early morning hours have some of  
3 the highest emission intensity, while our daytime  
4 hours are relatively low.

5           And so, I picked an early year so that we  
6 could compare that to what the ISO's calculated,  
7 and it's very similar trends to what they're  
8 showing in their actual calculation of GHG  
9 intensity.

10           And then for 2030, you can see the same  
11 trend, whereas the daytime hours are definitely  
12 decreasing over time. Again, we don't see any  
13 zeros due to the frequency response and local min  
14 gen constraints that we include in the model in  
15 order to leave some headroom in our gas  
16 generation unit's unique frequency response, and  
17 local minimum generation requirements.

18           So again that's just a contrast of the  
19 colors between 2019 and 2030. We do see that the  
20 midday hours definitely cleaner in the hours of  
21 the year, with more kind of the windier months,  
22 the little bit of hydro runoff that you see in  
23 the April, May, June time period. Again, some of  
24 the windier time periods in our simulations.

25           Again, that's it so thank you.

1 COMMISSIONER MCALLISTER: Thanks Angela.

2 MS. RAITT: Next is Michael Kenney from  
3 the Energy Commission.

4 MR. KENNY: All right, hello again. So  
5 I'm Michael Kenny from the Efficiency Division in  
6 our Existing Buildings Office. And I guess to  
7 kind of tie things back in together we're looking  
8 at how these GHG emissions, if we avoid emitting  
9 them, how are they connected to our SB 350  
10 targets, our energy efficiency targets.

11 So using the data that Angela just  
12 explained, we're actually using annual averages.  
13 So right now, our energy efficiency estimates  
14 that we have in our SB 350 report are at the  
15 annual, not hourly, or daily, or monthly. So  
16 that's definitely a goal for the future to get  
17 more granular.

18 So using these annual GHG emission  
19 intensities, and I'm looking at the electricity  
20 savings that we reported in SB 350, converting  
21 that into avoided GHG emissions. And then taking  
22 a similar approach, but using EPA's natural gas  
23 emission intensity value to calculate the avoided  
24 GHG emissions due to the natural gas savings.

25 And then with each fuel there's a goal

1 line that we've reported through SB 350. And  
2 using the same method to convert the goal line.  
3 So everything's in the same units.

4           So what do our SB 350 energy efficiency  
5 targets actually look like for avoided GHG  
6 emissions. So, on the one axis we're dealing  
7 with a million metric tons of GHGs avoided. And  
8 so the red area, that's due to electricity and  
9 green is due to natural gas.

10           So there's still opportunities to  
11 increase our energy efficiency, which would then  
12 result in lowering our GHG emissions or avoiding  
13 those emissions.

14           And obviously, as we get to more granular  
15 energy efficiency data we might be able to tease  
16 out more of those hours of a day that we can  
17 actually have a greater impact in reducing the  
18 avoided or -- yeah, avoiding GHG emissions. So  
19 that's a goal for our team to be working towards.

20           So kind of tying into the whole data  
21 effort as we get into more granular energy  
22 efficiency savings, you know, what measures are  
23 saving us during the evening hours as opposed to  
24 the middle of the day we can start to track those  
25 savings and have a more accurate reflection.

1           But we'll be updating this as we also  
2 update our SB 350 report. And I guess this is  
3 the end of the workshop.

4           (Laughter)

5           COMMISSIONER MCALLISTER: So thanks a  
6 lot, Michael. I want to just thank you and all  
7 the staff who's been involved today in putting  
8 this together. And Angela and the crew for  
9 working on, doing all the heavy lifting on  
10 figuring out these emission factors. Because I  
11 just wanted to prod maybe a minute of context  
12 here.

13           You know, we have a lot of things that  
14 reduce energy consumption in the State and, you  
15 know, building standards being kind of the most  
16 recent example of that.

17           But, you know, we've never really  
18 intentionally and explicitly tied the energy  
19 savings to greenhouse gas emissions, or at least  
20 in a systemic way. And so mapping those, mapping  
21 that over, you know, saving energy and then  
22 saying, okay, if we're really looking for  
23 emissions what does this strategy get you in  
24 terms of carbon reductions.

25           And so for example, in the modeling



1 that's associated with the building standards,  
2 we're incorporating a tool that allows that to  
3 spit out the climate impact or, you know, the  
4 carbon dioxide impacts. And so, you know, Mazi,  
5 and Bill, and the team in the Building Standards  
6 Office are working on that in earnest so that  
7 people can know what the -- you know, people,  
8 local governments in particular have a goal.  
9 They have to do climate planning. You know, so  
10 they have to comply with code, but they also want  
11 to know the other impacts.

12           So as we're trying to accommodate a lot  
13 of different needs and then sort of push the  
14 conversation in a more transparent way over to  
15 emissions, and so that will reflect itself in a  
16 number of different areas over time, but that's  
17 just one example.

18           So this work to figure out what the  
19 hourly emissions factors are is really critical.  
20 And it's not easy. It's actually quite  
21 difficult, so as you heard from the ISO and our  
22 folks.

23           So anyway, I wanted to just thank  
24 everybody for all of that work.

25           So with that, I guess I'm going to go to

1 blue cards for public comment. And we have -- we  
2 have maybe eight or nine of them. So I'll just  
3 start with Chris Warner from CAL SMACNA.

4 Oh, I'm sorry, I'm sorry, Chris. It sure  
5 looks like Warner up here, but I'm sorry.

6 MR. WALKER: Good afternoon.

7 COMMISSIONER MCALLISTER: Sorry about  
8 that.

9 MR. WALKER: No worries. Chris Walker.  
10 Good afternoon, Commissioner McAllister and  
11 Commissioner Hochschild. My name is Chris Walker  
12 and I am the Executive Vice President of the  
13 California Association of Sheet Metal and Air  
14 Conditioning Contractors, CAL SMACNA. We are a  
15 nonprofit, statewide trade association  
16 representing over 400 contractors in the air  
17 conditioning, sheet metal and air conditioning  
18 industry representing -- excuse me, employing  
19 over 25,000 union employees and administrative  
20 personnel throughout the State.

21 These contractors perform commercial and  
22 residential heating, ventilating, and air  
23 conditioning, architectural and industry sheet  
24 metal, as well as stainless steel equipment,  
25 kitchen equipment, manufacturing, and testing and

1 balancing.

2           Range of work is from public works to  
3 private, commercial, and residential projects.  
4 I'm trying to speed this up to get it all under  
5 three minutes.

6           I just want to -- we're here today to  
7 really talk about item number two. And it comes  
8 down to the subsidies provided by the utilities.  
9 And we don't believe that we're going to meet the  
10 SB 350 goals by January 1, 2030 if we don't  
11 address both the permit compliance, as well as  
12 contractor and the skilled workforce, the quality  
13 of the workforce.

14           We need responsible contractor and  
15 workforce standards attached to any energy  
16 efficiency subsidy programs and need development  
17 of an HVAC sales registry to increase permit and  
18 code compliance.

19           It's supply and demand out there. The  
20 demand is not changing. The demand by the  
21 consumer is we want HVAC equipment at the lowest  
22 price possible. We want it installed at the  
23 lowest price possible.

24           The equipment supplier for the San  
25 Joaquin Valley supplies the equipment to hundreds

1 of contractors. He was talking with one of our  
2 contractors and said, you know, the name of our  
3 biggest purchaser? And he said no. He said, the  
4 name of the biggest purchaser is cash. And it  
5 shows up on Friday afternoon with a long line of  
6 pickup trucks, and these people are buying these  
7 units and installing them over the weekend  
8 without going through the permit process.

9           And typically, these are done on rush  
10 jobs. They're not properly. And you're not  
11 getting the efficiency that you think you're  
12 getting under our codes and standards.

13           In order to meet the SB 350 energy  
14 efficiency goals California needs to take  
15 concrete steps. Currently, the vast majority of  
16 HVAC retrofit work does not comply with permit,  
17 inspection, and Title 24 compliance documentation  
18 requirements.

19           Studies have shown repeatedly that  
20 permits are -- have found that permits are  
21 obtained for residential HVAC replacements as  
22 little as 10 percent of the time. And that Title  
23 24 quality installation requirements complied  
24 with by contractors as little as 15 percent of  
25 the time.

1           The report estimates that by correcting  
2 these problems we could -- the California peak  
3 energy demand each year could be decreased by 130  
4 megawatts. That translates to other GHG, but you  
5 can see there's a big delta there.

6           The CPUC recently revisited the estimate  
7 of the rate of permitting and concluded that  
8 permits are obtained far less than 8 percent of  
9 the time for residential HVAC replacements.

10           The CPUC also found that the number of  
11 replacement projects per year now is about one  
12 million per year, which is nearly triple what the  
13 2008 report had estimated.

14           COMMISSIONER MCALLISTER: I'm going to  
15 ask you to wrap it up.

16           MR. WALKER: We need to get an HVAC  
17 registry. At the end of the day, we need to use  
18 the data that we can get to follow our units. We  
19 have units going out and getting installed. And  
20 in order to help our permitting and compliance  
21 operations, we need to know where those are  
22 going. And global change requires bold moves.  
23 We need to get there.

24           COMMISSIONER MCALLISTER: Thanks a lot.  
25 I appreciate that.

1           And I'm going to just ask before, let's  
2 see, I've got Manjit Ahuja from NRDC next. But I  
3 wanted to ask, just exhort you to work with staff  
4 on the SB 1414 work on HVAC, because I think  
5 those kinds of recommendations and sort of backup  
6 for them is really important for us to have as we  
7 move forward. That and the responsible contactor  
8 policy, as well.

9           MR. WALKER: Correct. Thank you very  
10 much.

11           COMMISSIONER MCALLISTER: Thanks.

12           MS. RAITT: And can I just interject?  
13 For the folks on WebEx, if you wanted to make  
14 comments after the folks in the room, go ahead  
15 and just raise your hand and use the chat  
16 function to raise your hand to let our  
17 coordinator know that you wanted to make  
18 comments.

19           COMMISSIONER MCALLISTER: Oh, hey. Go  
20 ahead.

21           MR. CHABRA: I'm going to speak on behalf  
22 of my colleagues. Thank you for the great  
23 program today. It's really a lot of content to  
24 absorb. We will submit written comments, but we  
25 wanted to comment verbally on the question of

1 emissions.

2 I mean this is completely agree this is  
3 critical to make sure that our energy efficiency  
4 measures, you know, optimize the greenhouse gas  
5 savings that we're going to get.

6 So we appreciate all the work that went  
7 into these emissions factors. It wasn't clear to  
8 us how we went from the average emissions from  
9 PLEXOS to avoided greenhouse gas emissions. One  
10 of the speakers who did not -- wasn't here for  
11 one time was -- I read his slides, and he has a  
12 point, which we agree with that modular emissions  
13 are most important to understand avoiding  
14 greenhouse gas emissions.

15 So we'd like to better understand, you  
16 know, what's the methodology there to estimate  
17 avoided greenhouse gas emissions.

18 And the key question I think we need to  
19 ask when we look at modular emissions is not  
20 just, you know, we flip one switch and how is  
21 that going to impact the margin, kind of the edge  
22 of the margin.

23 But if we implement SB 350 and the  
24 doubling energy efficiency goal which is -- you  
25 know, impacts millions of homes throughout the

1 state, and industry, and agricultural facilities  
2 how is that going to impact the margin. And  
3 that's not the same response and by and long it  
4 makes a big difference. Especially in terms of  
5 what the load shape looks like, how much you --  
6 the difference between peak and off peak.

7           So we're still looking at how do we get  
8 to a metric that values both the right energy  
9 source for the right efficiency measures, and the  
10 load management benefits between peak and off  
11 peak.

12           So we look forward and we'll provide  
13 comments, but we look forward to having, to  
14 continuing that discussion which we think is  
15 critical to maximize our greenhouse gas savings.  
16 Thank you.

17           COMMISSIONER MCALLISTER: Great, thanks  
18 very much.

19           Brett Barrow from NECA.

20           MR. BARROW: Good afternoon,  
21 Commissioners. My name is Brett Barrow, with the  
22 National Electrical Contractors Association,  
23 representing 2,000 contractors throughout the  
24 State, who employ about 30,000 electricians.

25           And my comments kind of go to this



1 morning's session, as well, dealing with the  
2 commercial buildings and lighting.

3           The utilities have identified about 40  
4 percent of the State's energy is consumed by  
5 nonresidential facilities. And of that, about 35  
6 to 40 percent is used related to lighting.

7           So the importance of lighting controls  
8 and the ability to use those lighting controls in  
9 conjunction with demand response becomes very  
10 important. As we see it now, there's more than  
11 about two-thirds of the existing buildings that  
12 still are using manual controls. And of that, if  
13 you look at what demand response-capable controls  
14 are it's about one percent of those buildings  
15 that have that.

16           So I think that one of the things that's  
17 happening, and in the latest code cycle that we  
18 just got through controls have been -- are  
19 addressed and certainly expanded, but there's  
20 still a lot of avenues for simply lighting  
21 upgrades, fixture upgrades without having to do  
22 the controls.

23           And I think one of the results of that  
24 may be we -- when an owner can go down that  
25 pathway we delay the use of controls that can

1 facilitate demand response. And I know this is  
2 going to be a key part of getting to doubling the  
3 energy efficiency by 2030. And we want that  
4 technology available in there when we're able to  
5 move to that, as well.

6           So just a couple more points I wanted to  
7 make, kind of to build on Chris Walker's comments  
8 on workforce standards and skilled workforce.  
9 You know, as it relates to the lighting controls,  
10 even, the training is beyond what it would be for  
11 a general electrician to test those controls.  
12 And for that the Energy Commission, along with  
13 the PUC, and industry stakeholders and others  
14 have come together with the utilities and created  
15 the CALCTP program. We feel that's very  
16 important, especially in verifying the  
17 effectiveness of the controls after they're  
18 installed.

19           We found in a couple studies that those  
20 that weren't verified afterwards almost  
21 completely failed to operate and result in the  
22 savings that we would expect to see.

23           And lastly, I just wanted to mention that  
24 we are seeing in some areas, and specifically a  
25 review of the acceptance test technician

1 certification provider annual acceptance report  
2 to the CEC that there are certain jurisdictions  
3 that are ignoring the requirements for controls.  
4 And we are hearing from our contractors in the  
5 field that in fact that in some cases they're  
6 ignoring those requirements, as well. So we  
7 could continue to focus on looking at enforcement  
8 in the field, as well.

9 COMMISSIONER MCALLISTER: Great. Thanks  
10 a lot.

11 MR. BARROW: Thanks.

12 COMMISSIONER MCALLISTER: I appreciate  
13 your being here. And again, written comments  
14 will be great to have. You know, this stuff,  
15 with that and on the record, so thanks.

16 Randy Young.

17 MR. YOUNG: Good evening. I was all  
18 prepared this morning so I had good morning,  
19 Commissioner McAllister written down. So good  
20 evening.

21 COMMISSIONER MCALLISTER: It's morning  
22 somewhere, right.

23 MR. YOUNG: I am Randy Young. I  
24 represent JCEP today, Joint Commission  
25 Environmental Energy Policy. We represent over

1 10,000 sheet metal workers in California. And  
2 I'm going to speak today on HVAC workforce  
3 quality and training.

4 In the plan, I believe this is one of the  
5 items that was really picked upon because there  
6 was some individuals that thought this meant  
7 union versus nonunion. This is not union versus  
8 nonunion.

9 I firmly believe that training is the key  
10 to reach your goals of the reductions set forth  
11 by 2030.

12 The efficiency of heating and air  
13 conditioning equipment is highly dependent on the  
14 quality of its installation. Studies show that  
15 poor quality installation HVAC systems have been  
16 found to result in a 20 to 30 percent increase in  
17 energy consumption. It goes against what we're  
18 looking for.

19 The California Energy Commission found up  
20 to 85 percent of replacement HVAC systems are  
21 installed incorrectly. It does us no good to  
22 increase the efficiency standards for HVAC  
23 equipment if these systems are not installed  
24 correctly.

25 It also does no good to spend hundreds of

1 millions of dollars on energy efficient  
2 incentives for HVAC retrofits if the equipment,  
3 again, is not installed correctly.

4           The high rate support installation for  
5 HVAC equipment can be tied directly to the use of  
6 untrained, underpaid workers, who have not gone  
7 through a State-approved apprenticeship program.

8           The utilities have found that the  
9 majority of HVAC installers don't have the  
10 technical knowledge, skills, or abilities to  
11 properly install a system, but you're going to  
12 ask these guys to produce 30 percent of savings.  
13 It just doesn't make sense.

14           The recent utility energy efficient  
15 business plan stated that less than half of HVAC  
16 technicians in California are aware of even basic  
17 national standards -- "basic" national standards  
18 for work quality and there are high failure rates  
19 for job performance even on routine tasks.

20           So I urge this Commission to make sure  
21 that workforce training and standards are  
22 something brought back into this slant. Thank  
23 you.

24           COMMISSIONER MCALLISTER: Thanks very  
25 much. Thanks for being here.

1           Dion Abril.

2           MR. ABRIL: Very good, Commissioner, on  
3 the name. My name's Dion Abril. I represent the  
4 Western State Council of Sheet Metal workers.

5           I also agree that lost energy savings  
6 from poorly installed energy efficiency measures  
7 is a barrier to meeting the SB 350 energy  
8 efficiency goals. There are significantly lost  
9 energy savings opportunities that are stranded in  
10 buildings when energy efficiency construction  
11 work is not performed properly.

12           To address these issues, the California  
13 Energy Commission's 2016 Existing Building Energy  
14 Efficiency Action Plan adopts a goal to ensure  
15 that a certified, highly performed -- or excuse  
16 me, high-performing workforce will be used to  
17 delivery energy efficiency retrofits, thereby  
18 transforming efficiency and sensitive work from a  
19 low-cost bidder work frame to a low-cost  
20 qualified bidder work frame.

21           To achieve this goal, the Action Plan  
22 recommends adopting contractor and workforce  
23 standards into Energy Efficiency Program  
24 requirements.

25           The California Public Utilities

1 Commission's recent decision approving the  
2 Utilities Energy Efficiency Program Business  
3 Plan's initially proposed workforce standards to  
4 HVAC programs. But, unfortunately, deleted these  
5 standards at the last minute.

6 As a result, our state energy efficiency  
7 programs are going to continue their policy of  
8 providing subsidies to low-quality work. This is  
9 backwards.

10 In closing, California needs to require  
11 contractors that invest in the skilled and  
12 trained workforce if it is going to achieve its  
13 energy-saving goals. Thank you.

14 COMMISSIONER MCALLISTER: Thanks very  
15 much. Thanks for being here.

16 Barbara Hernesman.

17 MS. HERNESMAN: Thank you. I'm here  
18 representing Western HVAC Performance Alliance,  
19 and it sounds like we've got the table here.

20 HVAC is a very specific gap barriers, and  
21 issues, and problems to be solved.

22 So one of the things HVAC or WHPA, as we  
23 know it, deals with is bringing a collective  
24 group of subject matter experts together to try  
25 to address the gaps, the barriers, the problems,

1 and probably move us as close as we can to  
2 recommending possible solutions in the market.

3           So I agree with everything that's been  
4 said so far. We are all very concerned about the  
5 contractor and very concerned about the workforce  
6 standards. It has to be kept in here as much as  
7 possible and we need to reassess how we're going  
8 to get this fixed and how we can get this back  
9 into the market in an applicable way so that we  
10 can actually gain the energy efficiency savings  
11 that we're looking for.

12           So I was instrumental in an EVEC, on the  
13 update plan. And I'd like to see those  
14 recommendations at least brought forward one more  
15 time.

16           COMMISSIONER MCALLISTER: Okay.

17           MS. HERNESMAN: Thank you very much.

18           COMMISSIONER MCALLISTER: Thanks a lot.

19 Thanks for being here.

20           Mark Hall.

21           MR. HALL: Good afternoon, Commissioners,  
22 thank you. My name is Mark Hall. I'm on the  
23 steering committee for the Local Clean Energy  
24 Alliance. It's the Community Choice aggregator  
25 in the East Bay. I'm also a project developer



1 with the Environmental Defense Fund's Confidence  
2 Project.

3 We are working as a pay-for-performance  
4 partner to direct install contractors through the  
5 PG&E Trade Pro Alliance. We're also working with  
6 local schools, community colleges, and workforce  
7 development organizations to start the first,  
8 what will be the first energy auditor  
9 apprenticeship program in California.

10 Energy efficiency jobs are -- there are  
11 more energy efficiency jobs in solar and wind in  
12 California, but there's not an apprenticeship  
13 program. So we actually just applied for a grant  
14 to the California Community College Chancellor's  
15 Office.

16 And so, we just want to support this  
17 initiative and definitely bring attention to the  
18 fact that job training will definitely be very  
19 important to meeting these goals. Thank you.

20 COMMISSIONER MCALLISTER: Great. Thanks  
21 for your comments. And congratulations on the  
22 rollout of the East Bay CCA.

23 MR. HALL: Thank you.

24 COMMISSIONER MCALLISTER: Todd O'Connor.

25 MR. O'CONNOR: Good afternoon,

1 Commissioners. My name is Todd O'Connor. I'm  
2 the Senior Policy Advisor for Clear Result.

3 Clear Result is a leading energy  
4 efficiency service implementer in North America,  
5 with a significance presence in California.

6 First of all, we thank you for your  
7 leadership in this policy area. It's very  
8 important what you're doing here, not only today,  
9 but throughout the rollout for SB 350 in doubling  
10 energy efficiency goals.

11 We also thank the staff for their hard  
12 work and dedication in putting together this  
13 workshop.

14 And my comments have two points and I'll  
15 be very brief. Number one, please include in  
16 this IEPR chapter a discussion on identifying the  
17 regulatory barriers that currently exist, which  
18 impede the State's ability to achieve the goal of  
19 doubling energy efficiency savings.

20 And you can start with taking a look at,  
21 a review, or an audit of the existing utility  
22 energy efficiency incentive programs that were  
23 cited here today.

24 Number two, related to point one, I'd  
25 like to request CEC support or at least be

1 cognizant of legislation sponsored by the  
2 California Energy Demand Management Council, SB  
3 1131. As proposed, this bill would provide  
4 transparency and timelines for CPUC post-ante  
5 review of custom food processing projects.

6           If enacted, this bill would optimize the  
7 number of food processors in California to  
8 participate in the utility energy efficiency  
9 incentive program and in the food investment  
10 production programs. This will be a tool in the  
11 toolbox to meet the SB 350 goals. Thank you.

12           COMMISSIONER MCALLISTER: Thanks. Thanks  
13 for being here.

14           The last blue card and then we'll go to  
15 WebEx. Valerie Winn. You were the last card to  
16 come in, by the way.

17           MS. WINN: Yes, it was. And it was the  
18 last panel that intrigued me, so thank you.

19           I'm Valerie Winn with Pacific Gas &  
20 Electric Company. And thank you for the  
21 interesting discussion today.

22           And in particular, I was intrigued by the  
23 discussions from Energy Commission staff about  
24 the work that they are doing in looking at hourly  
25 GHG emission profiles for the avoided emissions

1 of energy efficiency measures.

2           And I thought that was a very interesting  
3 conversation and really focused on the need to  
4 properly align incentives with the programs that  
5 are going to best reduce, you know, energy usage  
6 at the right times.

7           We've been having similar conversations  
8 with Commissioner Hochschild, actually, on the  
9 Power Source Disclosure Report, and about the  
10 importance of also properly attributing emissions  
11 that occur on the system to the load that is  
12 causing them.

13           So I'm really encouraged by the work that  
14 staff is doing and hope that they will  
15 collaborate along lines to further that look at  
16 hourly emission profiles. Because I think that's  
17 what we really need to do both for the energy  
18 we're not using, and for the energy that we're  
19 using. Thank you.

20           COMMISSIONER MCALLISTER: Great. Thanks  
21 for that comment.

22           Do we have anybody who wants to chime in  
23 on WebEx?

24           MS. RAITT: So it doesn't seem that we  
25 do. But if we could take a moment to open the

1 phone lines, so if anyone on the phone wanted to  
2 make a comment this would be an opportunity. And  
3 if you're on the phone and you don't want to make  
4 a comment, please put it on mute.

5           Okay, hearing none.

6           COMMISSIONER MCALLISTER: Hearing none.

7 Okay, wow.

8           So I guess just really brief wrap-up  
9 comments. It's been a long day. I want to thank  
10 everybody for being here. And very substantive  
11 and looking forward to everybody's written  
12 comments.

13           Please feel -- please get yourself  
14 motivated. You know, drink some coffee after  
15 this and get all your thoughts. While your  
16 brains are crackling, get them down.

17           And I just, you know, wanted to reiterate  
18 that, you know -- I think it was David Jacot this  
19 morning that said, you know, energy efficiency  
20 makes all of these other issues smaller and  
21 easier to deal with, and that is absolutely true.

22           And we need that head room in the  
23 distribution grid to put all these EVs, and all  
24 this electrification that's going to happen, you  
25 know, on the distribution grid so that we can

1 avoid some serious infrastructure investment. At  
2 least optimize that infrastructure investment.

3           We know we're going to make a lot of it  
4 but, you know, we can manage that with just good  
5 management all around. And that, first and  
6 foremost, includes energy efficiency and just  
7 smart controls on the demand response side.

8           So we didn't talk about rates today, but  
9 obviously I think getting a lot of this done  
10 depends on getting the right incentives down to  
11 the customer. And those incentives need to  
12 reflect the grid needs.

13           And I think, you know, we've been working  
14 a lot with ARB. We've been working with the ISO,  
15 obviously, on this emissions factor work. And  
16 so, and ARB as well on that.

17           So, you know, the agencies are doing the  
18 technical work and I think some of the market-  
19 based, you know, the rates and things like that  
20 need to sort of complement.

21           So a lot of trains moving down parallel  
22 tracks.

23           So a little bit more context, I think I  
24 am ready to call it a day. Any more comments?

25           Any comments, Michael?

1           Okay. All right, I think people are  
2 tired of hearing me talk. So thanks everybody,  
3 again, for coming, and we are done.

4           (Off the record at 4:35 p.m.)

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

**REPORTER' S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 23rd day of July, 2018.



---

Eduwiges Lastra  
CER-915



CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



---

MARTHA L. NELSON, CERT\*\*367

July 23, 2018