

DOCKETED

| | |
|-------------------------|--|
| Docket Number: | 17-AAER-06 |
| Project Title: | Commercial and Industrial Fans & Blowers |
| TN #: | 224516 |
| Document Title: | Transcript of 07/11/2018 Staff Workshop on Appliance Efficiency Regulations for Commercial and Industrial Fans and Blowers |
| Description: | N/A |
| Filer: | Cody Goldthrite |
| Organization: | California Energy Commission |
| Submitter Role: | Commission Staff |
| Submission Date: | 8/17/2018 2:37:51 PM |
| Docketed Date: | 8/17/2018 |

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CALIFORNIA ENERGY COMMISSION
TRANSCRIPTION OF RECORDED STAFF WORKSHOP
JULY 11, 2018
SACRAMENTO, CALIFORNIA

Present: LEAH MOHNEY, Supervisor of the
Mechanical Appliances Unit, CEC
ALEX GALDAMEZ, Mechanical Engineer, CEC
TRINITY PERSFAL, Twin City Fan & Blower
JEFF KLEISS, Lochinvar
MICHAEL IVANOVICH, AMCA International
JOANNA MAUER, Appliance Standards
Awareness Project
LAURA PETRILLO-GROH, AHRI Engineering
Director
MARK LESSANS, Ingersoll Rand
MARY ANDERSON, Pacific Gas and Electric
CHAD WORTH, Energy Solutions
JOHN BADE, Johnson Controls
LOUIS STARR, NEEA

Transcribed by: Rebecca P. Gosnell,
eScribers, LLC
Phoenix, Arizona

1 is an item that I know several people have expressed an
2 interest in. We will be taking a break probably around
3 10:20 to go across the atrium to the business meeting, so
4 people can participate that. I imagine probably a
5 fifteen- to twenty-minute break so that people can
6 participate, and then we will resume the workshop.

7 In the event of an emergency, please file out the
8 doors. You can either leave the exit through the
9 entrance doors, which you came, or there are doors to the
10 right, follow the staff out. There's a park cattycorner;
11 we will assemble in the park. This is during an
12 emergency. Just follow staff and we'll reassemble over
13 there. I believe those are all of our emergency
14 messages.

15 Again, if you are making a comment, please make sure
16 you introduce yourselves and identify the company or
17 organization that you are representing, and we will
18 remind you about this. We do have a number of
19 presentations, so bear with us. Hopefully we can plan
20 the break so that it's not in the middle of somebody's
21 presentation, but we'll keep our fingers crossed on that
22 one.

23 With that, I would like to introduce Alex Galdamez.
24 He is our mechanical engineer that's working on the
25 commercial industrial fans and blowers rulemaking.

1 **MR. GALDAMEZ:** Well, hello. My name is Alejandro
2 Galdamez. I go by Alex, just because a lot of people
3 don't know how to pronounce the J, you know; kind of
4 embarrassing sometimes.

5 Welcome to the Commercial and Industrial Fans and
6 Blowers Workshop. We're going to be discussing the draft
7 staff report at this awesome meeting now, maybe, yeah?
8 Okay. All right. So let's get started. Oh, that's not
9 moving. Okay. Here we go.

10 So today we are going to be discussing the
11 following: the rulemaking process, the background, the
12 staff proposal, the technical feasibility, the
13 methodology that we use to calculate the savings, at
14 least the bigger picture of it, the cost-effectiveness of
15 the proposed regulation, the energy savings that the
16 proposed regulation will have statewide, then I'm going
17 to close with the conclusion of what we came up for the
18 staff report.

19 After that, we are going to move on to the scheduled
20 presentations, the presentations I received yesterday.

21 And after that, we're going to go to the public and
22 discussion section of the meeting; short and sweet.

23 So where are we? We are right here at the meeting;
24 the red arrow points to that; the public workshop to
25 discuss the draft staff analysis.

1 The comment period will end on July 31st at 5 p.m.,
2 but we have received some extensions needed, so we're
3 going to review that and then probably will go for
4 further than that. I mean, they won't end at the 31st.

5 So let's start with background. So background, the
6 U.S. Department of Energy started a process to regulate
7 commercial and industrial fans back in the day when I was
8 young and not -- no, sorry. Back when they issued three
9 notices of data availability, and used data provided by
10 manufacturers for its analysis. They've also used, I
11 guess, embedded fans to analyze the shipments of such.
12 We use the same analysis to come up with a color point in
13 numbers for this regulation.

14 So we are proposing to focus on standalone fans, as
15 well as embedded fans in nonregulated equipment. On the
16 left we have an example of a standalone fan. That's an
17 actual inline fan. And on the right, we have an example
18 of axial panel fans that are embedded in the nonregulated
19 unit.

20 The staff proposal can be found in the docket. This
21 is the website, so in a couple years, I'm not going to
22 verbalize it, although, kind of fun to do it. We are
23 seeking comments and supporting data for the proposal
24 standard, either if you're for it, or against it.

25 So staff is proposing the scope to include

1 standalone fans and embedded fans in nonregulated
2 equipment that upgrade from one break horsepower, which
3 is around one kilowatt, to a maximum of 150 air
4 horsepower. These are the fans that are going to be
5 covered. You can read the slide. I'm not going to be
6 telling you all the little fans. I'll give you some time
7 for that.

8 So as far as the metric, we are proposing the Fan
9 Energy Index, or FEI, the value of one, and that was
10 calculated used in what DOE used, which is efficiency
11 level 3 for the proposal. The FEI basically is equal to
12 the referenced fan of electrical input power compared to
13 an actual Fan Electrical Input Power, or FEIP, referenced
14 over FEIP actual.

15 As far as the test procedure, we are proposing to
16 use ANSI/AMCA 208-18 calculation of the Fan Energy Index.
17 This test procedure, however, requires AMCA 210 and AMCA
18 207 to carry out the calculations of 208. So it's a
19 conjunction of three standards.

20 Staff, we are not basically taking fans out of the
21 market, but rather defining the upgrading points where
22 the fan is FEI compliant. Here are two different fans:
23 A high efficiency fan on the left and a low efficiency
24 fan on the right. The red area represents the area where
25 the fans are compliant, a different sized pressures and

1 air flow. The one on the left will have a bigger
2 compliant map if you want to see it that way. While the
3 one on the right will be specific to specific airflow and
4 pressures that can operate and be compliant to FEI,
5 making it technically feasible.

6 This graph basically represents the efficiency of
7 fans for centrifugal roof vents. The fans that were
8 picked on the X-axis would have basically the percentile
9 efficiency. On the Y-axis we have the load and cfm.
10 Most other fans that were picked for the different jobs
11 were, as you can see here, are forty-three percent or
12 less. This only shows that there are currently more
13 efficient fans in the market available for this type of
14 application, pointing out that if this proposal is
15 technically feasible.

16 This is another example of we've got 295 fans that
17 were above one horsepower. Each blue dot represents the
18 fan and the red lines here are the percentile efficiency
19 levels. As you can see, there are fans that are way
20 above forty percent that are available for the same job
21 as those that were picked for -- that were less
22 efficient. So this graph is just representing, again,
23 that there are available fans in the market.

24 So I had -- this is not working for some reason, so
25 it has all the data. So we -- further, for better fans,

1 we got information that the only way to achieve FEI of
2 one was just to increase the size. We gathered some
3 information and, as you can see here, if you increase it
4 to a forty-two-inch square inline fan, for example, you'd
5 be FEI compliant. And we understand there is a weight
6 increase that's where the housing increase and a budget
7 cost of the fan. However, if they were to take a twenty-
8 seven-inch mixed flow fan, yes, it is the higher cost,
9 but it'll give the house width lower, plus it'll be FEI
10 compliant.

11 There's new technology, like the EQB-27, which will
12 keep the budget costs low. The house and width will be
13 lower, actually, than the original and the operation
14 costs will be lower than even the forty-two square inch
15 increase by just putting a bigger fan. It'll be also FEI
16 complaint, so you're killing two birds with one stone.
17 It might be a higher cost in engineering, but there's
18 technology out there available.

19 Yeah?

20 **MR. WOLF:** Al, it's Mike Wolf of Greenheck. Can we
21 ask questions? Do we go here? How do you want it?

22 **MR. GALDAMEZ:** Yeah, by all means.

23 **MR. WOLF:** So --

24 **UNIDENTIFIED SPEAKER:** (Indiscernible)?

25 **MR. WOLF:** Yes, I've got it.

1 So the thing I want to point out on this, as it is
2 something that originated with my company, is I think we
3 got to be cautious when we're -- we're making broad
4 statements about what can and can't be done.

5 This example here was strictly on inline fans, and,
6 while I think that the concept carries through, I don't
7 know that carries through on -- on all product types. So
8 I just want to caution the --

9 **MR. GALDAMEZ:** Again, and we got the couple of the
10 comments that we need basically --

11 **MR. WOLF:** Okay.

12 **MR. GALDAMEZ:** -- for this coming period --

13 **MR. WOLF:** Okay.

14 **MR. GALDAMEZ:** -- on how this can be implemented,
15 how it cannot be, why, and so I can take that into
16 consideration. Yeah.

17 **MR. IVANOVICH:** This is Mike Ivanovich from AMCA
18 International. I have a question for Mike Wolf, who he
19 just identified his company as the source for this data,
20 somebody had asked me if the weight included the motors
21 drive, can you clarify that?

22 **MR. WOLF:** No.

23 **MR. IVANOVICH:** Did not include the motors?

24 **MR. WOLF:** No, I can't clarify that.

25 **MR. IVANOVICH:** Oh, okay. Thank you.

1 **MR. WOLF:** My guess is that it probably does not,
2 and this slide is pretty dated too, so this is -- this is
3 probably pre, where we were incorporating the motor into
4 the some of the FEI calculations. Again, it was more for
5 kind of a general reference. It's not probably as
6 detailed as you'd want, but I think the -- the point is
7 correct, the analysis, you know, what it's telling us is
8 correct, but to the extent that it includes every last
9 detail that would be required on a regulation, I guess
10 it's probably not.

11 **MR. IVANOVICH:** Thank you.

12 **MR. WOLF:** On embedded fans, this is not a very good
13 representative example. You really need to look at
14 centrifugal fans which are the vast majority of embedded
15 fans, and you won't find the opportunity to suggest to
16 substitute a better class of fans than those. So again,
17 you're looking at again, centrifugal fans being
18 predominantly what's being used, and then separate class.
19 There isn't any way to substitute a better class of fans.

20 **MR. GALDAMEZ:** Again, that's a great comment, and
21 those are the type of comments and information that we
22 need for (indiscernible) embedded fans. Right? Right
23 now the data that we have received is limited, and this
24 is the best response that we can come up with.

25 By all means, if you got to have examples and why is

1 it that we cannot use an inline fan instead of
2 centrifugal fan and so forth, by all means, please resend
3 that data for the embedded fans issue. Okay.

4 Any more questions, or -- we're good? Okay.

5 So let's -- so the two figures, 11 and 12, which are
6 the graphs, basically just represent that the standalone
7 fans are technically feasible. And the same can be said
8 for embedded fans, standalone fans since once you take
9 that embedded fan out and test it, it will upgrade in the
10 same way a standalone fan would.

11 So that's our assumption that we can test the
12 embedded fan in the outside of the unit, and it'll
13 perform the same way as a standalone fan of the same
14 type. You might want to unmute the mic.

15 **MR. WAGNER:** This is Greg Wagner. I'd just say that
16 that statement is not correct. In fact, that last slide
17 with the inline fan kind of illustrates why that's not
18 true. And that is, you can take perfectly good fans, put
19 them in those boxes, they don't perform very well in
20 those boxes like that.

21 **MR. GALDAMEZ:** In some cases, also for a better fan,
22 the system is designed around the fans such as chillers,
23 which is just saying that those are actually technically
24 feasible since we define the unit after choosing the fan,
25 so you just choose an FEI compliant fan, and then design

1 the unit around it.

2 In regards to -- oh, sorry.

3 So we also receive additional information on FEI
4 compliance and unitary rooftop units. And for the EL
5 level that we're suggesting most of the fans for this
6 specific unit are FEI compliant as is. This graph only
7 represents some unitary unit from a company which are at
8 EL level, and they're all FEI complaint, all the fans
9 used.

10 So our favorite methodology, basically we use the
11 same assumptions the DOE did in their latest NODA and use
12 that twelve percent population rate to calculate the
13 shipments in California.

14 And we calculated the cost effectiveness for the
15 proposed regulation using those numbers. All
16 calculations are based on using DOE's efficiency level 3
17 assumptions, and it's a comparison between a fan that
18 upgrades at a noncompliant level, and I wanted that
19 upgrade at EL3 or our compliant level, using the FEI
20 equation and calculations.

21 So I came back to a cost effectiveness, as you can
22 see here for standalone fans. We -- for example, on
23 axial cylindrical house fans, we calculated a per unit
24 electricity savings of about 1,100 kilowatt hours per
25 year.

1 There's a question on the lines. Go ahead.

2 **MR. NICHOLAS TIMOTHY:** Hi, John Bade, you are
3 unmuted.

4 **MR. BADE:** Hi, can you hear me?

5 **MR. GALDAMEZ:** Yes.

6 **MR. BADE:** Okay. So I apologize, I had raised my
7 hand back when you were on the -- on the rooftop slide,
8 but you don't need to go back.

9 The question I have here, and I'm sure the answer is
10 yes, is that this fan that you were looking at for the
11 rooftop units were supply fans, correct?

12 **MR. GALDAMEZ:** Yes.

13 **MR. BADE:** Okay. So I will be submitting some very
14 extended comments, but one of them will be that for
15 rooftop units that have returned and exhaust fans
16 embedded in them, you will not find that to be the case.

17 And one of the biggest areas where we're going to
18 run into issues are going to be on the low pressure --
19 you know, low pressure relative to their flow fans, so
20 that -- it's down in that range. The right side of the
21 curve where you're going to run into the yes, you've got
22 to go to a physically larger fan.

23 When you're up near the -- when you're working up at
24 the peak and you're looking at three to four inches, and
25 you're trying to find, you know, a different fan that

1 works, yeah, I don't doubt that in many cases, or the
2 majority of the cases, you can find a fan that works.
3 It's where we're going to have to look really hard are
4 the exhaust and returns like applications where we've got
5 the low pressures. And neither the DOE, nor a lot of
6 analyses that I've looked at have addressed this issue.

7 **MR. GALDAMEZ:** Okay. If you have some data on that,
8 I would appreciate it if you could submit it as well.

9 **MR. BADE:** Yes. Oh, yeah, you know, I'll be
10 submitting you a whole lot of data.

11 **MR. GALDAMEZ:** Okay. Thank you. I was saying --
12 any more questions online? Sorry. No? Okay.

13 As I was saying, we calculated a per unit calculated
14 savings of about 1,100 for this axial cylindrical house
15 fan, with an incremental cost of 400 dollars. The
16 average lifetime for this fan is about twenty-nine years.
17 We calculated our per unit average annual savings of 169
18 bucks a year, with a lifecycle net benefit of 2,800
19 dollars with a three percent discount rate. Their mic --
20 there it is.

21 **UNIDENTIFIED SPEAKER:** Alex, would you clarify the
22 per unit -- the hour used for the per unit electrical
23 savings?

24 **MR. GALDAMEZ:** The per hour, we're dependent on the
25 average lifetime that were calculated. I could go

1 through the specifics with you later. I'll send you that
2 data. I mean, how I calculated the spreadsheet. I don't
3 have it with me at this time.

4 **UNIDENTIFIED SPEAKER:** Okay.

5 **MR. GALDAMEZ:** But I'll send it to you. I think
6 it's on (indiscernible) industrial, we calculated a full
7 year, operating seven days a week and for commercial we
8 did -- I'll send you the numbers; I haven't done that. I
9 have no idea.

10 So then we ran calculations for the embedded fans
11 and here's an example for axial cylindrical house fan.
12 The per unit electricity, the savings was about 300
13 kilowatt hours per year, with an incremental cost of
14 \$187, yet that was just for the fan design and
15 installation, with an average lifetime of eighteen years,
16 the per unit average annual savings of 51 bucks a year,
17 with a lifecycle net benefit of 650 bucks, round.

18 Yeah, go ahead.

19 **UNIDENTIFIED SPEAKER:** Hey, Alex. Just a question
20 on cost effectiveness of embedded fans in the previous
21 table.

22 So you said fan design and implementation of that
23 fan, right? That's what the cost of that is?

24 **MR. GALDAMEZ:** Yeah, that's the data that we had.

25 **UNIDENTIFIED SPEAKER:** Okay.

1 **MR. GALDAMEZ:** It was only at the time of a new fan,
2 for example --

3 **UNIDENTIFIED SPEAKER:** Okay.

4 **MR. GALDAMEZ:** -- and putting it into the
5 (indiscernible).

6 **UNIDENTIFIED SPEAKER:** Right.

7 **MR. GALDAMEZ:** We didn't get any more data in
8 regards to how much it would increase in size.

9 **UNIDENTIFIED SPEAKER:** That's okay.

10 **MR. GALDAMEZ:** The (indiscernible) later.

11 **UNIDENTIFIED SPEAKER:** Okay. Thank you.

12 **MS. MOHNEY:** I just want to remind people to
13 identify yourself before you speak, so we know who is
14 making comments.

15 **MR. GALDAMEZ:** So what does this mean? It basically
16 means a savings for standalone fans of about 50 gigawatt
17 hours per year, with 1,400 gigawatt hours per year after
18 full stock turnover. So sorry, the 15 gigawatt hours is
19 for the first year of implementation.

20 The full stock turnover for standalone fans is
21 around twenty-seven to thirty years, so that'll be the
22 same.

23 Go ahead. Of course, you're online.

24 **MR. TIMOTHY:** John Bade, you're unmuted.

25 **MR. BADE:** Thank you, this is John Bade from Johnson

1 Controls. What I'm not clear on is what is the base that
2 we are saving from -- and the reason I ask that is you
3 had shown in a previous slide, an example of a rooftop
4 unit that was already at FEI of one. I have run -- I
5 represent a company that -- that sells -- has a large
6 share of the air handler market, and almost every air
7 handler that we've sold on SPY fan side have already had
8 an FEI higher than one, so one thing I'm concerned about
9 is what is the assumption about where fans in the market
10 are being sold today? At least from what I've seen, at
11 least in the embedded fan market, most of them are pretty
12 much over one as it is.

13 **MR. GALDAMEZ:** We use the data from DOE that they
14 gathered from different manufacturers, and so we compared
15 a nonefficient EL1 up rating at zero basically, and then
16 compared the cost of usage of that to the one that
17 uprights at EL3. So if you have an axial fan, it was
18 data that will compare -- you could compare a
19 noncompliant axial inline fan to that of an axial inline
20 fan that upgraded at EL level 3. And we gathered -- I
21 mean DOE is the one that got us that data, and that's the
22 data that we used. That's the assumption. I don't know
23 if I'm -- did I answer your question, or?

24 **MR. BADE:** You did, so I'll repeat my comment and,
25 again, this will be some of the data that I'll share

1 the -- I believe (break in audio) fans already that are
2 used for supply are already over one today.

3 **MR. GALDAMEZ:** Okay.

4 **MR. BADE:** The other thing I'll mention, and I have
5 a good relationship with the both at ANSI. I know the
6 folks here that are there. I will say I suspect that a
7 lot of the AMCA data, are is -- it's heavily skewed
8 toward the low pressure, high airflow fan, so in very
9 many systems that we participate in selling, like doing
10 air conditioning and ventilating for a large building,
11 the air handler comes with a supply fan, and the exhaust
12 and return fans that are low pressure are very often
13 standalone fans where the AMCA folks would have the data,
14 but the same fan that, you know -- but we buy fans from
15 them, put them in our air handlers, they don't have the
16 performance data for those, because we're just buying
17 fans in bulk. We don't share the performance data with
18 them.

19 **MR. GALDAMEZ:** Okay. If you can, by all means,
20 share that data and your comment, that would be great.

21 **MR. BADE:** Sure.

22 **MR. GALDAMEZ:** Thank you.

23 **MR. STARR:** This is Louis Starr with Northwest
24 Energy of CLI, and one thing I would kind of point out
25 here is mentioning that -- John mentioned that he's

1 looking at equipment and that fans regular getting FEI1.
2 I would kind of, you know, not in the context of this,
3 but I would say that sort of gives an indication that
4 some of these FEI levels and embedded equipment are
5 possible, and that's one of the things.

6 It also brings up another issue. If the other
7 return fans aren't meeting at FEI level of FEI1, then
8 that's problematic. It means they're not apprising of
9 this fan, and there's no way to capture that in the
10 metric.

11 So it sort of gives you the idea that maybe you need
12 to be going after these fans and in particular, they're
13 not regulated. I mean, the EI measure the CPEX (ph.)
14 2012 indicates that energy is fifty percent -- or cooling
15 energy and the fan energy are about fifty percent split
16 nationally. And so you have California goals that are
17 around trying to drive efficiency, you need to be going
18 after where the opportunities exist, so I just wanted to
19 provide that kind of perspective. Thank you.

20 **MR. GALDAMEZ:** Thank you.

21 **MR. ERNST:** Just responding. This is Skip Ernst
22 with Daikin. Just responding to, I think Louis' comment.
23 The exhaust fans and return fans that's not an issue of
24 what speculated and what isn't. It's the application of
25 the fan and the fact that return fan, exhaust fan, and

1 supply fan all go in the same units, supply fan is used
2 at a higher static pressure so it's the (indiscernible)
3 efficiency fan is a smaller diameter than the return
4 fan/exhaust fan. And you end up on space -- on all
5 equipment is space-constrained, and you end up with
6 exhaust fans and return fans that a more efficient fan
7 doesn't fit right.

8 When we presented that data to DOE, and I -- you
9 know, it appears we need to present it again to
10 California. The DOE didn't address these comments.
11 These were comments sent to them after their last NODA,
12 and we pointed out many of the flaws in their analysis,
13 and they've -- they've never corrected it.

14 **MR. GALDAMEZ:** (Break in audio) over there, then
15 here. Okay.

16 **UNIDENTIFIED SPEAKER:** So this is (indiscernible).
17 You know, one of the things I would say is the casing
18 side of the equipment, so when you buy a piece of
19 equipment, you have a fan that's inside of it, depending
20 on where that ends up. That fan could be just right
21 there, and it won't fit into a larger case. In other
22 words, you need a larger casing size. But most of the
23 time, that's not the case. And so the ability to shift
24 to a bigger fan, I think exists in a lot of equipment,
25 and that's what DOE did do in their analysis.

1 But the other thought about this is, let's just say
2 what he's saying is correct? It means basically our box
3 is too small to put in a more efficient fan, and we can't
4 put in more -- we can't go get a more efficiency, because
5 we have to find a bigger box for it. So there will never
6 ever be a reason. I mean, if you think about it, why is
7 it that essentially the fan is optimized in the current
8 RTs, but it has part of a regulation associated with it.
9 So there's a reason to drive -- to drive it more on the
10 (indiscernible) fan. On the return side, there is not.
11 And so how do you drive those -- or how do you drive
12 manufacturers to make a fan that is slightly bigger or
13 whatever it needs to be -- to be more efficient. And so
14 my thought is that do that through fan regulations.

15 **MR. GALDAMEZ:** Thank you.

16 **UNIDENTIFIED SPEAKER:** And (indiscernible).

17 **MR. LESSANS:** Mark Lessans with Ingersoll Rand.
18 I'll build on this a little bit in my presentation,
19 especially if it relates to fans that are embedded in
20 rooftop units, but one thing that I also want to make
21 sure that we clear up is that we're not mixing up any
22 kind of data sources on the amount of energy that's
23 consumed by the rooftop unit, and in some of the other
24 air source, or airside products that are out there. I'm
25 not sure where the fifty/fifty split from the cooling to

1 ventilation comes from, but I can tell you that inside of
2 a rooftop unit itself, the cooling function of that
3 product accounts for -- the compressor itself accounts
4 for over seventy percent of the electricity consumption
5 of that unit.

6 So yes, there are other airside products that are
7 not covered by that rooftop unit that are also providing
8 ventilation of that building, perhaps. But inside of an
9 embedded rooftop unit that's designed specifically to
10 provide cooling and ventilation, the actual cooling
11 function is by far the majority of that electricity
12 consumption.

13 **MR. GALDAMEZ:** Two more and then we'll continue the
14 presentation, because we're going to have a time to
15 discuss and go through all this process. And do the
16 workshop.

17 **MR. STARR:** So this is Louis Starr with NEEA. So
18 what that doesn't represent is that a natural energy
19 model, the metric doesn't represent the annual energy
20 usage, it represents a way to basically identify how
21 efficient another product is based upon a test procedure.
22 But when you actually run energy models in climate zone
23 4, half of the energy in a cooling application is coming
24 from the fan energy. So this is when you use economizer.
25 This is when you're doing ventilation. This is when the

1 air compressor's not on. And that's a number of hours a
2 year, and it's very much the same case in California,
3 which has a lot of climate zone 4. So same as the test
4 procedure has seventy percent, you know, the actual
5 energy use when you go in the models, and then you know,
6 it obviously depends on the climate zone 4. I mean, for
7 instance, how much compressor energy is used in Alaska?
8 Do we think it's seventy percent there? So it does
9 depend on the climate zone. And so thing in the test
10 procedure that, you know, it's a metric that's averaged
11 over the whole United States. I think we can all see
12 that Alaska does not have a lot of cooling energy, and it
13 certainly is at seventy percent there. And so I was
14 looking to what the climate zones here are, and make that
15 decision. But I think regardless, we know that the test
16 procedure does not reflect the actual energy used to the
17 fan.

18 And in the 90. -- in our ASRAC meeting, we're
19 supposed to start renegotiating that test procedure in
20 the -- with a January 1st, 2016 completing on 2019. So
21 we got about six months to finish that renegotiation of
22 the test procedure. So I don't think that's going to
23 happen anytime soon. And I just -- you know, I kind of
24 looked at the fans, and to me that looked like you need
25 to think about reaching in and getting regulations,

1 energy-efficiency -- or energy savings through looking at
2 the fan metric.

3 **MR. GALDAMEZ:** Thank you. And there was more --
4 Okay, go ahead.

5 **MR. WAGNER:** I was going to say, if you go -- this
6 is Greg Wagner. If you go back to slide 12, you can see
7 that just looking at efficiency of fans doesn't
8 necessarily drive energy savings, and that slide showed
9 that you have a lot of fans that were lower efficiency
10 level at the bottom right-hand corner, but a lot of those
11 are also using way less energy than the ones that are in
12 the higher efficiency levels, so just saying efficiency
13 isn't driving energy saving.

14 **MR. GALDAMEZ:** Go ahead.

15 **MR. LESSANS:** Just, maybe a -- length that I'll
16 expand -- I'm sorry, Mark Lessans with Ingersoll Rand.
17 I'll get a bit on the energy consumption of roof topping
18 in itself again in my comments, but one other, I guess,
19 observation that I'd like to add is that the test
20 procedure for these rooftop units is actually in the
21 process of being revised, and that did come out of the
22 negotiated rulemaking for -- at the DOE level for these
23 products.

24 And I guess I'm still having some -- to me it seems
25 like there's a -- we're talking about all the fan that's

1 supposedly isn't being -- or all this energy that
2 certainly isn't being captured by the test procedure, but
3 I still don't see how revising the test procedure to more
4 adequately capture the energy consumption that fan is
5 inferior to addressing the fan for some separate
6 regulation that -- to me, understanding the better
7 performance of that product is always going to have a
8 much better -- paint a much better picture of the total
9 consumption than trying to look at the individual fans in
10 isolation.

11 **MR. GALDAMEZ:** Can we continue, or is it urgent?

12 **UNIDENTIFIED SPEAKER:** Yeah, no, I was just -- just
13 needed (indiscernible).

14 **MR. GALDAMEZ:** Yeah, we'll have a discussion that's
15 set to really work through it, and look at the issues and
16 further this custom, and see what data I said that we
17 actually need, and how we can make it work for everybody.

18 So for a better fan on the other hand, is the first-
19 year savings that we calculated was about 24 gigawatt
20 hours for that first year, and after full stock turnover,
21 which is around seventeen to twenty-one years, it'll be
22 430 gigawatt hours per year on savings.

23 Conclusion-wise, we concluded, basically, that
24 calculating savings discount rate of three percent, it is
25 cost effective -- the regulation is cost-effective. It

1 is technically feasible because there are fans available
2 on the market as it is, that perform at the FEI level
3 that we are suggesting.

4 The first-year energy savings will be around seventy
5 gigawatt hours for both embedded and standalone fans, and
6 after full stock turnover will be around 1,800 gigawatt
7 hours per year. So when we compare that to previous
8 regulations we have passed, it's between the battery
9 chargers and the state-regulated LEDs.

10 **UNIDENTIFIED SPEAKER:** (Indiscernible) the transfer
11 because of the (indiscernible)?

12 **MR. GALDAMEZ:** Yes.

13 So what did that mean for California? It's about
14 183 million in savings for the first year. Savings after
15 stock turnover, 529 million per year. If you want to
16 look at it at a cumulative savings will be about \$4.8
17 billion for California in thirty years.

18 So with that --

19 **UNIDENTIFIED SPEAKER:** Quick question.

20 **MR. GALDAMEZ:** Yes, go ahead.

21 **UNIDENTIFIED SPEAKER:** That thirty-year time period
22 include any ratcheting upwards in the string
23 (indiscernible)?

24 **MR. GALDAMEZ:** No, it's a flat, no growth.

25 **UNIDENTIFIED SPEAKER:** Flat, no growth. Okay.

1 Thank you.

2 **MR. GALDAMEZ:** Yeah, question on the line.

3 **MR. TIMOTHY:** John Bade, you are unmuted.

4 **MR. BADE:** Yeah, so I just want to clarify. Those
5 numbers you just quoted are based on the assumption that
6 every fan in California today is operating at some level
7 below FEI of one, correct?

8 **MR. GALDAMEZ:** No, it's based on the shipments that
9 we received from DOE. So basically, we look at the
10 shipment information the DOE calculated for both
11 standalone and embedded fans. And we based those numbers
12 on those shipment.

13 **MR. BADE:** Okay. So there is some, you know -- so
14 you got some significant number of fans already above FEI
15 of one and therefore not showing any savings in your
16 calculations, correct?

17 **MR. GALDAMEZ:** Yeah, unfortunately we don't have
18 actual numbers on how many fans are out there that are
19 efficient or already operating at FEI. That data hasn't
20 come by.

21 **MR. BADE:** Okay. Thank you.

22 **MS. MAUER:** This is Joanna Mauer from ACEEE Staff.
23 I just wanted to clarify that I think -- and I think the
24 CEC analysis is based on the DOE analysis from NODA 3.
25 And I think the information from DOE at each efficiency

1 level was really -- so their analysis for the impact of
2 the EL3 was really relative to the base paced
3 distribution of fan efficiency, so not relative to an EL0
4 fan, but rather relative to the distribution of -- of
5 fans that are -- that are being pulled today. So I think
6 in that way it's taking into account what you're saying,
7 John, about, you know, lots of -- lot of fans are being
8 purchased at -- at FEI1 today.

9 **MR. GALDAMEZ:** Okay. Can you (indiscernible) mic
10 over there in the back? Sorry.

11 **MR. ERNST:** Now, there were quite a few people in
12 the room here that were involved in the ASRAC, and just
13 see if -- this is Skip Ernst with Daikin -- if we have
14 the same recollection, the EL3 was what DOE considered
15 would require thirty percent of the market to be
16 redesigned. Isn't that what everyone -- everyone's
17 recollection? The EL10 or EL1 was ten percent of the
18 fans, and this was based on data that AMCA gave them, and
19 is not reflective of embedded fans. It's entirely based
20 on data that AMCA provided to DOE. This is my
21 recollection, but, you know, defer to some of these
22 people that are more involved than me.

23 **MR. GALDAMEZ:** Yeah, we did the -- we used this --
24 DOE had to do a lot of assumptions, because there were
25 no -- there was no data provided for embedded fans,

1 that's correct. So yes, the data is for several fans and
2 we can now (indiscernible).

3 Go ahead.

4 **MS. MAUER:** This is Joanna Mauer from ACEEE Staff.
5 So my recollection is that EL3 may be roughly twenty-
6 five -- I think that twenty-five percent of the market or
7 so would need to be, yeah, recollected, redesigned
8 something similar to what you said.

9 I also think that for NODA 3, one of the things that
10 DOE went back and did, kind of after -- after realizing
11 that the data from AMCA, maybe, wasn't, you know,
12 reflective of embedded fan shipment, because I think they
13 at least attempted to better reflect, in particular,
14 shipments of (indiscernible) fans. I don't know that
15 they, you know, got it exactly right, but I think they
16 did in the NODA 3, at least attempt to account for the
17 fact that the AMCA data really focusing on
18 (indiscernible).

19 **MR. GALDAMEZ:** We have -- right there, then you can
20 go ahead.

21 **MR. ERNST:** Again, DOE -- this is Skip Ernst with
22 Daikin. DOE did go out and talk to embedded
23 manufacturers. The data -- they never updated based on
24 the data we gave them. And we have information to
25 support that.

1 **MR. GALDAMEZ:** That be, you can provide a data to
2 us, so we can take a look at it.

3 **MS. PETRILLO-GROH:** Laura Petrillo-Groh, AHRI.
4 Yeah, so from this conversation is jogging that summer,
5 and into the -- into the fall, and into the winter,
6 negotiations. And my memory on the topic, but the NODA 3
7 was the first NODA that used FEI as the metrics. I think
8 the previous two used different metrics entirely.

9 **MR. GALDAMEZ:** Correct.

10 **MS. PETRILLO-GROH:** And was -- I think, Joanna is
11 correct the first time you attempted to make corrections
12 for the embedded fan market. It's my understanding that
13 Skip and Daikin, and many other companies did supply the
14 Department of Energy with more information on embedded
15 fans, since we finally understood what was captured in
16 that original AMCA database by that point in the
17 negotiation; however, the NODA 3 was published prior to
18 the conclusion of the negotiation. It was just meant to
19 give us -- give the working group information on what
20 that metric would look like in -- in a regulation.

21 So a lot of information was provided to the
22 Department of Energy on embedded fans after that NODA was
23 published. And at that point, where we've stalled. So
24 you know, clearly we would have to provide that same
25 information to California, to be able to update their

1 analysis, but I would like a little bit more information
2 on how that entire analysis would get updated and
3 reflect -- and more reflective of the actual market and
4 what the, you know, development cost technical
5 feasibility is for the embedded fans which we care about
6 so much.

7 Because our work with the spreadsheets that were
8 issued by Department are the draft. They're not final.
9 They're not in particularly user-friendly format at this
10 point. They're not the complete package that gets issued
11 with the final rulemaking. So maybe CEC or ASBS (ph.)
12 Utility Partners, or could concede more to that process,
13 we might be able to provide better information in a way
14 that you guys could use it in your analyses, as opposed
15 to what we would have provided the Department of Energy
16 for use in their analysis.

17 **UNIDENTIFIED SPEAKER:** This is Mary Ann
18 (indiscernible). We're going to be giving a presentation
19 shortly, or later this afternoon/morning-ish on some of
20 that information. So more to come, but we've already
21 started to look through that.

22 **MR. GALDAMEZ:** There's one more coming in --

23 **MS. PETRILLO-GROH:** Can I follow-up please?

24 **MR. GALDAMEZ:** Yeah, go ahead.

25 **MS. PETRILLO-GROH:** This is Laura again. Yeah, I

1 think a lot of what has been said here, I think
2 mischaracterizes the participation of -- of embedded
3 equipment. Only in the process, you know, that the
4 information was, in fact, provided on -- on many
5 different sources on many different occasions, and it was
6 just in the process of being revised, so this is just --

7 **MR. GALDAMEZ:** Yeah, I understand that DOE had a
8 problem and they did continue the main administration,
9 so, I mean, that could be a reason why. I don't know.
10 I'm just making an assumption here.

11 **MS. PETRILLO-GROH:** Yeah.

12 **MR. GALDAMEZ:** (Indiscernible) can provide any
13 information when, you know, we give you what we need and
14 how we need it and all that.

15 **MS. PETRILLO-GROH:** Yeah. We also did try to do
16 that after the -- the last step in the process, where we
17 provided a proposal for a regulation, and tried to
18 follow-up with, you know, who we were told would be the
19 consultants working on this on the CEC side, and received
20 no response. Not the emails, phone calls, so I'm -- I'm
21 very pleased to hear that we will -- will have a contact
22 now that we can provide this information to and leave
23 authoritative being able to, finally, time to adequately
24 provide that.

25 **MR. GALDAMEZ:** (Indiscernible) sending you

1 information, but I'll go ahead and send it to you again.

2 **MS. PETRILLO-GROH:** Yeah.

3 **MR. GALDAMEZ:** Yeah.

4 **MR. STARR:** So this is Louis with NEEA. So what I
5 understand, Lisa -- Laura, that you basically information
6 you submitted to DOE, you -- you have or are going to
7 resubmit that same information to CEC as well? I seen
8 that in NDA and all that information was that --

9 **MS. PETRILLO-GROH:** So a lot of the information that
10 I'm -- I'm talking about was actually submitted by
11 individual manufacturers directly to Department of Energy
12 consultants under NDA.

13 **MR. STARR:** And can that be carried over? This
14 means, I bet (indiscernible).

15 **MS. PETRILLO-GROH:** I think as long as an NDA can be
16 completed, I mean, that would be required to be -- to
17 maintain confidentiality in terms of cost of equipment
18 redesign specific models. I mean, this business
19 information that, you know, we were able to, you know,
20 that many companies were able to provide the DOE's
21 consultants under NDA. You know, one of my member
22 companies who did provide that can -- can maybe provide
23 more clarification on what would be needed, but --

24 **MR. STARR:** Sure.

25 **MS. PETRILLO-GROH:** But that same --

1 **MR. STARR:** Sounds like it's your -- it's that same
2 mechanism exists with DOE that you had with the
3 (indiscernible) NDA agreement saying that you're okay
4 with that as well, right?

5 **MS. PETRILLO-GROH:** That would be part -- that'll be
6 part of it, but then I think there's some additional
7 analysis that we are requesting as well. So I would like
8 to wait until we hear from the consultants on what they
9 need and what they've been looking at.

10 **MR. STARR:** And then the other thing I would point
11 out, the ASRAC's meeting is around September 5th or
12 something like that, and a lot of this data that was
13 submitted on the record by AHRI and member companies was
14 after that date, which generally when you're trying to
15 negotiate things, it's helpful to have that information
16 during the negotiations, so it needs, just from my
17 perspective, what sees that the data was held on until
18 the very end, and then it's like well, we better give
19 data, or we're going to get regulated. So that's my
20 perspective. It may be incorrect, but that's how I kind
21 of look at it.

22 **UNIDENTIFIED SPEAKER:** (Indiscernible) a lot of data
23 three -- I know I submitted data three years before.

24 **MS. ANDERSON:** And just to clarify the da -- this is
25 Mary Anderson with PG&E. The analysis we're doing, we

1 are not a consultant to the CEC. I have consultants that
2 I'm with the investor on utilities, which is separate.
3 We are also a party similar to AHRI.

4 **MS. MOHNEY:** And the Energy Commission does have a
5 process for submitting confidential information. We'll
6 get that information to you.

7 **MR. GALDAMEZ:** So going back. So what we're looking
8 for standalone fans is basically we appreciate comments
9 on all definitions that we propose, including the fans
10 that are not covered to be exempt, such as circulating
11 fans.

12 Let's take a look at the definitions so they make
13 sense to you. And please submit some comments on those.
14 Or standalone fans with this procedure, we are proposing
15 to use the basic model that we have done for other
16 regulations; however, we received a suggestion to use fan
17 laws to lower the amount of testing that needs to be
18 done; however, we need examples how to implement it,
19 since there's something different that DOE has done in
20 the past.

21 The test procedure, we're proposing -- sorry, did I
22 miss my spot? No. I'm sorry, I went back -- I went
23 forward one slide. I didn't go forward, right?

24 Okay. So for embedded fans, we're looking at the --
25 we're asking for comments on the definition. How to

1 define it? Our main concern is basically to prevent a
2 loophole to the wall, so that if a consumer is not -- if
3 an embedded fan were to be exempt, for example, how can
4 we define it to take it out of the regulation? Or how
5 can we define it better? All right, since an actual fan
6 inside or embedded upright and looks the same, how can
7 you define it?

8 In regards to a scope for embedded fans, we're
9 accepting substantiated comments to define the scope of
10 the embedded fans. What should the scope be if we
11 include embedded fans or not?

12 **MR. WOLF:** Mike Wolf from Greenheck. I'm not sure
13 this is the right place to bring this up, but going back
14 to a previous slide, I guess, I'm curious when you're
15 asking about definitions. A lot of the stuff related to
16 fans is kind of application-related. I know I've had
17 discussions of you and others as to how a Title 20
18 relates to Title 24, because a lot of times it's not
19 until you actually see the fan in the field installed
20 that you know whether, you know, whether it's a
21 standalone fan or embedded fan.

22 So I guess my question is, and if it's the right
23 time or not, how -- how does title, what we're doing in
24 Title 20 ultimately tie into 24, because that seems like
25 that's where a good part of the enforcement will need to

1 come from.

2 **MR. GALDAMEZ:** Well, the implementation --
3 unfortunately, Title 20 and 24 are independent from each
4 other. Right? So it's not like I can say you need to
5 implement this fan this way in Title 20. Right? That's
6 Title 24's job, right? What Title 24 does do is point to
7 the FEI requirement that we are needing for embedded or
8 standalone fans.

9 So if we decide to go FEI1, at EL3, right? Then in
10 the future, when either what is the negotiation? The
11 ASRAC negotiation, not the ASRAC, the ASHRAE 490.1 goes
12 through, or that we do -- we do the fans requirements for
13 rooftop units and all that, then they'll point to Title
14 20 requirements. All right? So that's how I understand
15 it works.

16 And yes, it's a difficult subject, and that's what
17 I'm doing. So I need more information than -- the
18 definitions that we propose are very clear enough, or
19 they're good enough, or they need to be worked on more.
20 And I need basically any help and suggestions on how to
21 improve them.

22 In regards to the test procedure -- oh, go ahead,
23 there's a person online.

24 **MR. TIMOTHY:** Hi, John Bade, you're unmuted.

25 **MR. BADE:** This is John Bade from Johnson Controls.

1 One very specific comment that I will make is that the
2 fan definition -- the proposed fan definition does not
3 match the fan definition that's in 208, and that only
4 talks about the physical fan itself, and does not include
5 transmission, rotors, or controllers and something that
6 has been very unclear to me as I've been reviewing the
7 report is -- is how you are applying those other pieces
8 to this process, because all of the database stuff is all
9 about standalone fan with a (indiscernible) part number
10 on there, but a very, very big flaw is the definition of
11 the fans, because if you're going to use FEI, it has to
12 include the entire package, transmission, motor, and
13 controller.

14 **MR. GALDAMEZ:** Okay. Can you submit a comment and a
15 suggestion on how to define it better?

16 **MR. BADE:** Oh, I will, but it's essentially going to
17 be -- use the definition that's in AMCA 208.

18 **MR. GALDAMEZ:** And there's a comment in the back.

19 **MR. STARR:** Hi, this is Louis with NEEA. Actually,
20 maybe, I don't know, would be helpful maybe to AMCA
21 someone has some -- just to comment on that to see.
22 I've -- unfortunately, I don't have that off the top of
23 mind; I don't work on fans every day. What John's kind
24 of expressing is that a legitimate concern, or can you
25 comment?

1 **MR. IVANOVICH:** Well, definition, this is Michael
2 Ivanovich from AMCA. The definitions are always a
3 legitimate concern so I've been making notes as we go
4 along here, and we'll provide a more detailed analysis in
5 our written comments with the definitions. It's not just
6 the definition of fan, but all of the included and then
7 excluded fans. Definitions need to be checked against
8 AMCA standards and publications.

9 **UNIDENTIFIED SPEAKER:** Just off the top head, you
10 should know whether the definition of fan's right or not,
11 right?

12 **UNIDENTIFIED SPEAKER:** (Indiscernible)?

13 **UNIDENTIFIED SPEAKER:** I mean, he's basically saying
14 the fan definition is not inclusive enough of all the
15 things it concludes.

16 **MR. GALDAMEZ:** We'll take a look at that.

17 **MR. PERCIVAL:** This is Trinity Persfal, Twin City
18 Fan, to address Louis' comment.

19 In general, we look at -- we're going away from just
20 the fan equipment. The piece that rotates to move air,
21 to a fan system which includes the motor and drive, and
22 so most of the definitions in most of what you'll see in
23 208, and from hence, it will be inclusive of the fan
24 motor drive, so we look at the fan. We're being a little
25 bit more expansive in our definition of a fan system and

1 the motor and drive is inclusive of that.

2 **MR. GALDAMEZ:** It is my understanding of the problem
3 that maybe we're just referring 208, maybe we need to
4 make reference at 207 and 210 as well, as part of all
5 three test procedures needed for the standard, rather
6 than just 208. I think that will cover that drive and
7 all that.

8 One comment over in the back.

9 **MR. WAGNER:** Yeah, a slide or -- this is Greg
10 Wagner. A slide or two ago, you had a thing about the
11 fan laws and one of the issues with using those
12 similarity equations is that they are to a bare shafted
13 fan. They don't include the motor and drive, because you
14 can't use those same similarity equations to do that.

15 So some of these assumptions that are building to
16 just in the slide deck in comparison to what that
17 definition might be are relevant, and that's why the
18 question is, what is the definition of a fan. And people
19 do have a lot of questions about where does it start,
20 where does it stop?

21 **MR. GALDAMEZ:** Okay. Thank you. So again, all of
22 the comments in regards to how to improve the definitions
23 are welcome. By all means, submit them.

24 In regards to the test procedure, we're seeking
25 engineering data. Any information in regards to how

1 representative it is for embedded fans, or how is it not?
2 So specifically to rooftop units. We're looking at if we
3 should lower the FEI for embedded fans or not, so that
4 will be something to look at.

5 In regards to energy savings, preliminary
6 calculations received show significant savings for
7 California. We are accepting data and analysis to
8 support a different conclusion for better fans. We have
9 received some information on shipments, and we are going
10 to be running those numbers in this new iteration as
11 well. But if you have more data, by all means, please
12 submit them.

13 **UNIDENTIFIED SPEAKER:** Is there a deadline by which
14 that this should be submitted?

15 **MR. GALDAMEZ:** Right now we have July 31st, but we
16 are probably going to extend it due to two different
17 extension requests. Going to be publishing that really
18 soon, the extension of it.

19 Cost effectiveness-wise, Energy Commission staff has
20 received comments on the costs associated with embedded
21 fans; however, we need tabulated information on why I
22 said that for embedded fans that cost explodes, right?

23 We need, like, for example, for a fan that is in the
24 cabinet well, if it's increasing in this diameter, how
25 much is the weight and the only other fan going to

1 increase by the entire unit, how much it'll be for
2 installation, how much for engineering, reengineering the
3 fan, and so forth. Each is a different kind of logic for
4 the unit, how much would that cost engineering-wise? So
5 we need that tabulated calculation to reassess the cost
6 of embedded fans.

7 **MR. LESSANS:** Mark Lessans with Ingersoll Rand. I
8 know that we, at least, attempted to provide that
9 information to you over the course of the past year, so
10 it would be helpful if that information was not useful,
11 or if it needs to be built on. It would be helpful to
12 get some additional clarification on --

13 **MR. GALDAMEZ:** Can you do a summary of the cost --
14 total cost. What I needed was a breakdown of why do they
15 got that fee here. Right?

16 **MR. LESSANS:** Okay. So they'll --

17 **MR. GALDAMEZ:** So for example is this, like, say 500
18 dollars, right? Just even tumble. Well, 200 is for
19 engineering, 300 for materials, blah, blah, blah, blah.
20 Kind of like a bill to, like, kind of explain the worst
21 case scenario cost.

22 **MR. LESSANS:** Sure.

23 **MR. GALDAMEZ:** I'm not asking for information --
24 like preferred information that you cannot provide. I'm
25 more of, like, the reason why that cost is so high.

1 **MR. LESSANS:** So that there's -- I guess there's a
2 little bit of an issue, because that information that you
3 just described, you needed would essentially be
4 competitive information, so I think that we'll have to,
5 at least from our company's perspective, we couldn't
6 provide that in a comfortable way, knowing that our
7 competitors could also see it.

8 When we originally presented it to you was under the
9 offices of this is going to be public information, so we
10 can follow-up on the best way to get that information to
11 you on our end, and, yeah, I just want to make sure that
12 I get that out there, because we'd like to get you that
13 information just in a way that CEC can use it here.

14 **MR. GALDAMEZ:** So again, the comments are due by 5
15 p.m. on July 31st. That might change; we're analyzing
16 the two requests and we'll make a decision soon on that.

17 To submit electronically, of course, just go
18 straight to the docket and submit your comments. If you
19 need to send a hard copy, here's the address on the slide
20 of this presentation. It's available on the docket.
21 Just look for this address.

22 If you need to send a digital copy, you can email it
23 to docket@energy.ca.gov, just make sure to include the
24 docket number 17-AAER-06, and indicate Commercial and
25 Industrial Fans and Blowers on the subject line, so that

1 it can be docketed correctly.

2 So with that, I end my presentation in regards to
3 what we are proposing. And we are going to move to
4 presentations, and I think right now the first one we got
5 Trinity -- oh, yeah, one comment. Sorry.

6 **UNIDENTIFIED SPEAKER:** My name is Dwight Goodman
7 (ph.). Alex, just wanted to find out a little bit on
8 slide 11, you know, the technical feasibility on that
9 slide actually points to centrifugal roof vents. Was
10 that the only certified that you will --

11 **MR. GALDAMEZ:** Yeah, that was one time. I did use
12 it for presentation because we had a graph. And the
13 (indiscernible) them mostly, rather than what's available
14 on the market.

15 **UNIDENTIFIED SPEAKER:** Okay, so the Commission has
16 reviewed the other fans and the results were --

17 **MR. GALDAMEZ:** Yeah, exactly. Some of them -- I
18 mean there was limited data that we had received.

19 **UNIDENTIFIED SPEAKER:** Right. And then on the
20 tables, right, on the cost-effectiveness, just like DOE
21 would, I guess, the spreadsheet that we used to use, will
22 those be made available?

23 **MR. GALDAMEZ:** We used the sheets (indiscernible)
24 from DOE and then we arrive at our own calculate -- we
25 had to do our own calculations because it's California

1 specific --

2 **UNIDENTIFIED SPEAKER:** Right.

3 **MR. GALDAMEZ:** Right. Those are in the report. If
4 you need help on how it was calculated, via pending
5 because most of the equations that were used and we came
6 out to those numbers.

7 **UNIDENTIFIED SPEAKER:** Okay.

8 **MR. GALDAMEZ:** However, if you need help, please
9 contact me and I'll walk you through it -- go through it.
10 If you need the spreadsheet, itself, I can send it to you
11 and, so you can play with it, or, yeah.

12 **UNIDENTIFIED SPEAKER:** Okay. Thank you, Alex.

13 **MR. GALDAMEZ:** No problem.

14 **MR. STARR:** So this is Louis with NEEA. I just want
15 to -- this is probably maybe a question for you. So I
16 seem -- I noticed in DOE's analysis the NODA 3 inch
17 nearing of 2016 dated 10/9/13, version three, they've got
18 the cost of the fans on a dollar per ton, I believe, it's
19 250 dollars per cooling ton, and then they've got the
20 size fans. That's what you currently have, and are you
21 trying to get different information on that, or is it
22 more information?

23 **MR. GALDAMEZ:** I just need more information.

24 **MR. STARR:** So the other piece is in other words,
25 right?

1 **MR. GALDAMEZ:** Yes.

2 **MR. STARR:** So in the case of reengineering, if you
3 just go to a larger fan, that's not really reengineering,
4 you're just making a larger fan, right? So the question
5 is, is there space to go in there, which is done in
6 another analysis. So to me it seems like DOE -- the
7 information that is there is already the right
8 information, it's just a -- in other words, they've taken
9 account, the other things they're worried about in
10 another part of the analysis. So to me it just seems
11 like it's cost of the fan that was kind of the basis or
12 analysis, and then they do it in another part of the
13 analysis to figure out the effect. So help me understand
14 that.

15 **MR. GALDAMEZ:** That's correct, yes. So we're going
16 to have Trinity, right?

17 So to control inches, you can go here on the right,
18 or if you want, can you move this slide? You can? Okay.
19 All right. Let me know and I'll help you, but --

20 **MR. PERSFAL:** All right, thanks Alex. Appreciate
21 the chance to talk, and like Skip, I'm getting memories
22 of being in DC and the ASRAC process, but I think they
23 will probably be better characterizes as a flashback,
24 instead of a memory.

25 So again, I appreciate seeing a lot of the same

1 people. What I'm going to do for the next nine and a
2 half minutes that I have, there's really three things
3 that I want to talk about.

4 I want to just give a quick intro to what AMCA is,
5 who AMCA is, where we're at, what we do. Just a brief
6 intro to the FEI piece. Many of us who know it. I'll
7 just give some examples that we've put together of how
8 it's better to capture the energy than the previous
9 metrics. How there's been accommodation for some of the
10 low flow/low pressure applications, and how some of the
11 bigger size impacts some of the efficiency pieces. And
12 then finally, how this is becoming more of a mainstream
13 type of metric.

14 So with that being said, my name's Trinity Persfal.
15 I'm a member of AMCA, along with some of my other
16 compatriots here from New York Blower and Greenheck. And
17 I'm with Twin City Fan. We're based out of Minneapolis,
18 and we play, and Arman (ph.). Sorry Arman. We play in
19 the industrial, commercial, and OEM market.

20 And so AMCA, as you may know, is Manufacturer's
21 Association, and really its mission is promote the
22 health, growth, and integrity of the market. Worldwide,
23 we have about 380 members, half of them exist outside of
24 the U.S. We have 18 ANSI accredited standards and more
25 than 4,000 AMCA certified products, with 150 plus

1 companies participating in various regions around the
2 world.

3 There's multiple -- there's many, many AMCA fan
4 committees, and many of them pertain to this rulemaking.
5 And really what we try to do in our association is come
6 up with consistent positions and we try to drive the
7 regulation. It's beneficial that helps us accomplish our
8 mission up integrity health of our members and the
9 association. As alluded to from Alex, some of the
10 pertinent committees that pertain to this rulemaking is
11 207, 208, and 210, and those are ANSI-guided standards as
12 well.

13 What we'll see and what many people already know
14 about, but we want to start to compare, whenever you do
15 anything new, you want to compare it to what's old, and
16 so the FEI is really, it's an energy index instead of an
17 efficiency index. So the old, what we refer to as FEG,
18 the Fan Efficiency Grade, not necessarily wire-to-air
19 metric, doesn't include the motors and drives. And so
20 back in 2013, we started to project and future cast what
21 a new metric would look like that went from an
22 efficiency, more to an energy type of metric.

23 And so coming up with this was tricky and difficult
24 to say the least. And you can see here's why, and one of
25 the things that becomes pretty obvious pretty quickly is

1 that efficiency and power, and fan RPM and size, they all
2 start to play with each other. And so we try to come up
3 with a regulation that'll address that electrical input
4 power.

5 And we knew that, unlike a lot of energy codes, the
6 product regulation can't regulate the fan application.
7 They could regulate how the fan is presented to the
8 public. And so we tried to determine a way to present
9 what is the best-case piece of equipment for that
10 application. And so many people have seen this, but just
11 as a background, really the FEI is an index, and we're
12 comparing a baseline input power to the actual. And so
13 there's an accommodation that's made for low-flow
14 applications low-pressure applications that takes into
15 effect the energy impact that's consumed in the
16 efficiency consume. So you see that with the Q-Knot and
17 the P-Knot energy coefficient. And there was a lot of
18 ringing of hands three or four summers ago about what
19 those coefficient to be, but this was the consensus
20 position that we determined. And so to kind of reference
21 what Louis was discussing a little bit earlier about the
22 definition of a fan and a fan system, here you can see
23 this W coefficient is really reflective of the fan
24 equipment, the belt loss, and the motor loss. So we're
25 starting to look at this more holistically instead of

1 just a singular piece of equipment.

2 So we compared the old system of FEG to FEI. You
3 can see that FEG is the efficiency grade of an eighty-
4 five was selected. All of these fans have an FEG of
5 eighty-five. But it becomes pretty obvious that it
6 doesn't reflect the actual power that is consumed. So we
7 wanted an index that would reflect better the power
8 consumed. And so you can see the last two columns on the
9 right. You can see FEG compared to FEI. And if you look
10 at the fan power column, you can see as the power goes
11 down, the efficiency index goes up. So this is fairly
12 typical, dependent of fan type. You see the same type of
13 relationship.

14 And so to give a little background on some of the
15 FEI bubbles that you see, this is how those bubbles tend
16 to be constructed. You get -- very quickly you start to
17 determine what is the compliant range of a fan if the FEI
18 is at a one, you can start to see the part of the curve
19 that becomes compliant. So that's what you see here in
20 red.

21 And this is where the bubbles, for lack of a better
22 word, start to take shape. And so on the left, you can
23 see an efficient fan that has a much bigger compliant
24 operating range with an FEI of greater than one, compared
25 to one that is operating at an FEI -- it's operating at a

1 specific RPM at an FEI of one.

2 And for an axial fan -- axial fans don't get a lot
3 of love many times, but I just wanted to put this axial
4 fan curve in here, so we could all -- we'll see that too
5 from my axial fan brother.

6 So to kind of wrap up, the FEI is starting to become
7 popular with the kids, and starting to become mainstream.
8 And so what we're starting to see is it's trending in all
9 the right platforms. And so you can see AMCA 208 is now
10 an ISO standard. You're starting to see -- it's being
11 adopted into 210, and you're starting to see -- we're
12 talking about it here today in California, but we're also
13 talking about it in ASHRAE, and so EnergyPlus is starting
14 to grab hold of this, and the new DOE Asset Tool will be
15 inclusive using FEI. So it's starting to catch on.

16 And for us, as a proponent of the FEI, that's good
17 news for us and the AMCA members. So at the end of this
18 presentation, here's some of the resources that you used
19 and there is no bonus slides, but I think that's it. I
20 think I've allotted my ten minutes, so I appreciate the
21 opportunity. Thank you.

22 **MR. GALDAMEZ:** So I don't want to kill this, but the
23 next person, there will be [Lux-ni-var]? [Luch-in-var]?

24 **MR. KLEISS:** [Lock-in-var].

25 **MR. GALDAMEZ:** Lochinvar, sorry, man. I'm bad, my

1 apologies. I knew I was going to kill it. Here we go.

2 **MR. KLEISS:** Thank you. It's unfortunate following
3 Trinity, because he was really entertaining. So I am
4 Jeff Kleiss. I am representing Lochinvar. We are a
5 manufacturer -- and I'll just get on to this. We are a
6 leading manufacturer of commercial and residential water
7 boilers, water heaters, pool heaters, storage tanks.
8 We've been building water heaters since 1939, and we are
9 currently a wholly-owned subsidiary of A.O. Smith.

10 Before I go on, I'll just say it's my opinion of CEC
11 that they are a good organization that is legitimately
12 interested in conserving energy and water, and they put
13 their money where their mouth is as far as trying to
14 verify and actually legitimately do that job. And I am
15 hoping that this effort is related to conservation of
16 energy, and not just conservation of electricity, or else
17 I'm wasting your time with the rest of this presentation.
18 Also, this is going to be probably kindergarten level
19 from a bunch of Ph.D.s that are sitting at the table, but
20 we'll see what we can do.

21 So what we are recommending and requesting is that
22 embedded fans used to provide combustion air would be
23 excluded from the CEC fan rule, to prevent increased
24 energy consumption and other adverse effects. This would
25 include boilers, water heaters, pool heaters, whether

1 there be gas-fired or oil-fired.

2 Fans in combustion appliances are used for moving
3 air used for combustion with hydrocarbons. And they are
4 an essential part of the combustion systems. Most of the
5 combustion blowers that are used in high efficiency
6 boilers and water heaters that would be affected by this
7 rule are currently using fans with highly efficient ECM
8 motors. And we use those because we do modulate our
9 products, throttle them to meet load, and the ECM motors
10 provide us the ability to smoothly, reliably, and stably
11 adjust the speed, the RPM of our blowers, and match the
12 air that we need for our combustion. And do that in a
13 way that we'll provide for stable combustion.

14 I had some animation, but that's lost, but if you
15 plot the resistance of air flow through our systems, then
16 that would be depicted by these colored curves that are
17 shown. The burner and heat exchanger, and ducting all
18 create resistance to the airflow. As the efficiency of a
19 heat exchanger increases, we tighten those passageways.
20 We lengthen them. We do things to create more turbulence
21 and increase the surface area that is making contact with
22 products of combustion. And as you do that, you create
23 drag or resistance to the flow, so you would move from
24 the bar that is shown on the right towards the left, and
25 have a greater differential pressure and a lower flow

1 rate with a given fan, or a high efficiency product.

2 Now, the point where the fan curve intersects the
3 resistance curve, or the appliance, determines the
4 airflow rate that we have. Now, for a given design of
5 product, which would be depicted by that red line that is
6 curving up to the right, we then adjust the RPM of the
7 fan with the ECM motor control to modulate the airflow.
8 And as you decrease the RPM on the blower, we're going to
9 have a lower flow rate through our product. Again,
10 kindergarten level for a bunch of Ph.D.s; I apologize.

11 Now, the one thing that maybe is different for the
12 people in the room that are dealing with mostly moving
13 air, as opposed to using the air to burn something, is
14 the power consumption that's involved here.

15 So for most of our combustion appliances, the
16 electrical power consumption of the fan is about .2
17 percent of the energy that is consumed in the process.
18 The vast majority is used in the combustion of the fuel.
19 That's where the vast majority of our energy consumption.
20 The bar chart that is on the left of this slide, you'll
21 see a bar showing the actual useful energy that we have
22 in a 3,500,000 BTU boiler as an example.

23 And the orange part on top is the actual heat that
24 goes into the water. The total tie to the bar would be
25 how much energy is actually consumed in the system. And

1 the little blue bar on the bottom of that is our loss
2 from the inefficiency of the appliance, which in this
3 case, is about four percent of the total energy that's
4 consumed.

5 Now, next to that is the fan power, which you can't
6 see on this, because it is such a small contributor. So
7 I took just the energy losses, the thermal efficiency
8 losses, and moved those over on a plot on the right. So
9 that's showing about four percent of the energy consumed.
10 And then you can see how much of the fan power that's
11 used there is useful power and potentially a waste,
12 compared to the amount of energy that's consumed. It is
13 a very small fraction of the energy used for combustion
14 products.

15 Since it's unlikely that the fan rule will improve
16 fan energy consumption by more than fifty percent in
17 combustion appliances, that means that the energy savings
18 will be less than .1 percent of the thermal efficiency of
19 boilers and water heaters. That is a rounding error for
20 us when we're testing efficiency. Any loss of thermal
21 efficiency caused by the fan rule, would have to be less
22 than .1 percent, or the fan rule would end up costing
23 energy, rather than saving energy.

24 By limiting the allowable use of combustion fans to
25 the highest efficiency window, some high efficiency

1 designs will be excluded or made less efficient. I'm
2 going to look at two different examples, based on
3 products that we manufacture. Our ARMOR condensing water
4 heater which has a very, very restrictive air passageways
5 and a high resistance to airflow of our combustion gases;
6 and then another unit that we have, which is a commercial
7 boiler, our Crest, which has high turndown rate, and has
8 actually sort of two different stages of operation.

9 Now, these examples are Lochinvar models, but these
10 concerns are not unique to Lochinvar. We are just
11 representatives of the combustion products that have
12 chosen to be here and speak before you. And also, I
13 don't want to limit these concerns to the products that
14 we're building today. This is also going to affect what
15 we can possibly do in the future.

16 So the examples, as I mentioned, that we're looking
17 at, there's a ninety-eight percent thermal efficiency
18 commercial water heater that we have. This currently
19 goes up to four million BTUs per hour input. And then
20 the Crest boiler, which is a 96.2 percent thermo-
21 efficiency product.

22 These products go up to six million BTUs per hour.
23 The fans that you're regulating with one horsepower and
24 more for these appliances, start at about a 1 million,
25 1.2 million BTUs per hour and going up, that would affect

1 our product if they're embedded fans in combustion
2 appliances it's still applied.

3 So as an example, I want to start with looking at
4 the loss of turndown, and this is using the example of
5 our Crest boiler. The peak efficiency for fans may stop
6 before the maximum RPM is reached. And there are many
7 combustion systems that use the full range of RPMs,
8 maximize and modulation the turndown ratio of the
9 products. Now, I've been speaking with Arman about this.
10 There could be some confusion between the data that I
11 have for our products, and the data that he has, so we've
12 been working on it. From the time that we were given the
13 notice of this meeting, I think we had thirty/thirty-one
14 days, and it was really not enough time for us to pull
15 together really good data, so this is the best I can do
16 at this point.

17 So what the Crest does, we can modulate down to a
18 certain range, but as for any combustion appliance, we
19 have to run tests and certify our products to show that
20 they will not shut down if you have a forty mile an hour
21 wind blowing against the exhaust. And then you also have
22 to prove that they will shut off before they produce too
23 much carbon monoxide if you block the inlet, or if you
24 block the outlet, or if you block the inlet and the
25 outlet, and to certain degrees. So we have to put in

1 safeties, pressure switches, things like that that will
2 shut the unit off before it becomes unsafe, while still
3 allowing operation over a wide range of installations.
4 That creates some limitations as far as how much we can
5 modulate and turndown without -- and still have proper
6 safeties.

7 So what we did on this particular product is we
8 added in an air shutter, an air damper, that closes and
9 creates greater resistance in a second stage of
10 operation, and still allows all of our safeties to
11 function. Now, when we do that, that second curve for
12 the lower input rate, falls outside of the FEI range for
13 the blower that's used here, and would likely be out of
14 other alternatives. So what that does is that limits our
15 ability to modulate in match load. So you can see on the
16 bar, where we would lose both the top end and the bottom
17 end of our turndown. Now modulation and turndown of
18 heating products is used to match load. To resist --
19 prevent off-cycle losses, so if we can just modulate up
20 and down, and meet the demand for heat, we can stay on,
21 percolate, say when there's a very low demand for heat,
22 and then ramp up, as demand for heat increases. Matching
23 load, high turndown ratio is something that is recognized
24 by ASHRAE, by the consortium for energy efficiency in
25 ACEEE as a valuable energy efficiency conservation

1 method.

2 The standby losses for heating system account for
3 just .2 percent of the system input, then load matching
4 saves more energy than the combustion fan consumes. Even
5 if the limitations apply by the fan rule, say thirty
6 percent of the possible fan energy, its --

7 Am I going on overtime?

8 **MR. GALDAMEZ:** Yea, but we're not going to interrupt
9 you.

10 **MR. KLEISS:** Okay.

11 **MR. GALDAMEZ:** There's a business meeting across the
12 room, and there's the subject that most people are
13 interested here, so we're going to take a break, and then
14 we're going to continue with your presentation, if that's
15 okay? And we'll come back. So we're going to take a
16 break right now, so people can attend the business
17 meeting across the way. Thank you.

18 For those online, come back in ten to fifteen
19 minutes the most.

20 (Whereupon, a recess was taken)

21 **MR. GALDAMEZ:** Okay, so we're going to get back at
22 it. I think everybody's back, so go ahead and take it
23 away.

24 **MR. KLEISS:** Okay. So Jeff Kleiss again, Lochinvar,
25 and I was informed that I was going overtime, so I'm

1 going to try and speed things up. I also think there may
2 be some questions that I'll -- we can hold those and come
3 back to them.

4 So at any rate, I kind of covered the loss of
5 turndown ratio.

6 The next thing that relates to loss of turndown
7 ratio is this type of graph is fairly popular in
8 modulating boiler literature, and it shows how, as you
9 modulate, or have higher turndown ratio, you tend to get
10 greater and greater performance efficiency out of
11 appliances. Now, we only actually test and rate products
12 at one hundred percent of input, but as you get turned
13 down and go to lower and lower input rates, your heat
14 input has a ratio of the surface area that you have to
15 absorb that heat changes, and you tend to get better
16 efficiency.

17 So putting that together, if you lose your ability
18 to prevent off-cycle losses, and you've got an efficiency
19 loss there, but in addition to that, if you lose the
20 bottom end of your modulation, you could lose another one
21 percent easily in thermal efficiency, which is greater
22 than the total amount of energy that goes into your fan.

23 The other thing that we deal with, and this is more
24 related to that ARMOR that I showed you, is about how
25 restricted airflow can affect us. The ARMOR is our

1 latest and greatest heat exchanger. It is very, very
2 restricted to flow, has a very high pressure drop as you
3 get the airflow going through it, and it's the most
4 efficient heat exchanger that we've ever manufactured.
5 So the curve actually goes -- it's motor system goes
6 outside of the allowable FEI range for the blower that we
7 looked at. And we want to make sure that we don't end up
8 getting into a situation where we're not allowed to build
9 the most efficient products and can only supply lower
10 efficiency products because we're falling outside of the
11 allowable fan range for California.

12 In this case, we have a ninety-eight percent thermal
13 efficiency product that we could potentially not supply
14 in California, because we're not in the proper operating
15 zone for the fan. However, we could sell an eight-five
16 percent efficient product in its place with a fan where
17 we would be operating in the proper zone. At best, the
18 difference in the electrical power consumption of the fan
19 would be about .1 percent of this efficiency. So you
20 would have potentially a loss of 12.9 percent efficiency
21 because of this.

22 So it's our request, our recommendation, that
23 embedded fans used for combustion air for products,
24 including water heaters, water boilers, pool heaters,
25 that they be excluded. That the potential losses could

1 be 10 to 200 times the electrical power consumption that
2 you're going to be saving.

3 Thank you.

4 **MR. GALDAMEZ:** Actually, we can hold questions until
5 the time later. I'm sorry, because we're running low on
6 time, and we have, like, five more presentations.

7 We're going to have a presentation by Michael for
8 AMCA International.

9 **MR. IVANOVICH:** Good morning. This is Michael
10 Ivanovich. I'm with AMCA International. I'm going to be
11 presenting jointly with Joanna Mauer from the Appliance
12 Standards Awareness Project. And we're here, not to give
13 a fairly technical presentation, with just a pretty much
14 talk about the origins and status of the team that went
15 into developing a joint proposal for standalone fans.

16 So just a quick outline. We'll talk about the joint
17 proposal team, the joint proposal scope, and primary
18 elements, and then Joanna will talk about the CEC staff
19 proposal and support for the joint proposal going
20 forward.

21 So as Trinity mentioned, AMCA International is a
22 not-for-profit manufacturers association. We got more
23 than 130 member companies with consensus through the Fan
24 Regulation Committee that are involved with fans.

25 The proposal also includes work from the efficiency

1 advocates, which includes ACEEE Staff, Northwest Energy
2 Efficiency Alliance (NEEA); Louis Starr is here from
3 them, the National Resources Defense Council, ACEEE, and
4 then also the California IOU, including PG&E, San Diego
5 Gas and Electric, CE, and SoCalGas.

6 A lot of the joint work that we've been doing
7 collaboratively started in 2012. There was initial
8 private negotiations between AMCA and the Efficiency
9 Advocacy Organizations, very early in the DOE rulemaking
10 process. That team also began to work together as part
11 of the ASRAC working group, and then also we've been
12 working together, not in that kind of capacity, but just
13 some loose affiliations with an ACEEE-led rebate program
14 for motor-driven loads. And that would be covering fans,
15 pumps, and air compressors.

16 So while DOE was actually regulating or developing
17 regulations for all three of those product categories,
18 those three categories respective teams manufacturers
19 associations, advocates, and California IOUs were working
20 together to do rebate programs around those. Matter of
21 fact, the pump rebate program under EMPLI is already in
22 effect now with PG&E.

23 And then also when California decided to pick up the
24 rulemaking after DOE shelved theirs, the teams continued
25 to work together on that, leading to the joint proposal

1 that was submitted for standalone fans.

2 During this time and since then, AMCA standard 90.1,
3 the energy efficiency standard for commercial buildings,
4 low-rise commercial buildings has been under development,
5 and there's now a draft addendum out for peer review
6 until the end of the month. It's using FEI. And so the
7 advocate organizations work with AMCA on that.

8 We also have AMCA 208, as an ANSI standard. That
9 committee, because it's under ANSI, can include non-AMCA
10 members participating in that, and that certainly was the
11 case.

12 Then also, AMCA certified ratings program is
13 governed by publications that define how products covered
14 by the program are actually certified. Publication 211
15 is the publication governing and performance ratings.
16 And for the first time ever, we opened up participation
17 in that committee to nonmembers, not in the committee
18 meetings themselves, but to provide input to the
19 committee, and then to review the draft work that came
20 out of that for FEI certification.

21 So there's been a lot of teamwork involved, but AMCA
22 and the efficiency advocate organizations on fan
23 efficiency, fan efficiency regulation, and voluntary
24 programs as well.

25 And the goal of the joint proposal through

1 representing that body of work, has been to develop a
2 logical and forceful energy saving approach regulating
3 commercial and industrial standalone fans. And a lot of
4 this work was meant to leverage the work that was already
5 completed during the rulemaking. And then since the
6 rulemaking was shelved, we continue to work together and
7 participated in the AMCA standards, as well.

8 So the goal of the joint proposal was to take that
9 body of work that already existed and fold it into a
10 joint proposal to the California Energy Commission. So
11 in terms of that joint proposal scope, it included the
12 fan categories that you see here. I'm not going to read
13 them all off, but they're kind of represented in the
14 draft staff report that came out.

15 Some of the key issues are that it was in terms of
16 size, equal to one horsepower or one kilowatt, and that
17 the fan air power is less than or equal to 150 horsepower
18 in terms of scope. And then these are really essential
19 elements that the fans are tested in accordance with AMCA
20 standard 210, which, by the way, is copublished with
21 ASHRAE, as ASHRAE standard 51. Fans are rated for FEI in
22 accordance with AMCA standard 208. And that the fans are
23 manufactured on or after a date which is two years after
24 the date of adoption, et cetera, et cetera, et cetera.
25 So the FEI equals one for all types of fans that are

1 covered in the joint proposal.

2 Then we also mentioned, or worked in that in terms
3 of compliance and testing that the proposal kind of
4 ingested elements of AMCA 211, the certification
5 publication. And then our proposed requirements
6 reporting in marketing selection/software and labeling.
7 So that the labeling things are in the joint proposal as
8 well.

9 So what's going to happen now is, Joanne is now
10 going to cover the proposal.

11 **MS. MAUER:** Shifting to the CEC staff proposal,
12 we're pleased that the staff group will go first,
13 standalone fans largely reflects our joint proposal and
14 in particular, we're pleased that staff is proposing to
15 adopt the FEI metric for the provided an introduction to
16 the FEI metric, and we believe that really the
17 significant advantage of the FEI approach is that it
18 encourages not just improved fan designs, but better fan
19 selections, which we know can result in very large energy
20 savings.

21 The CEC analysis shows that the proposed standards
22 for standalone fans would achieve very large energy
23 savings for California and also electricity bill savings
24 for California businesses. Staff estimates that the
25 proposal for standalone fans would provide about 1,400

1 gigawatt hours of electricity savings annually after
2 stock turnover, and about 230 million dollars a year in
3 bill savings. And the staff analysis also shows that the
4 proposed standards for standalone fans are very cost-
5 effective, with benefit cost ratios of between 4:1 and
6 37:1, depending on the fan category.

7 For going forward, we continue to support CEC moving
8 forward to establish standards for standalone fans. At
9 this point, we're still reviewing the details of the
10 draft staff report, but we look forward to continuing to
11 work with CEC to advance this rulemaking. Thank you.

12 **MR. GALDAMEZ:** So just to let you know we're going
13 to try to go to lunch at 11:30, to give everybody time to
14 hit the restaurants before the rush, and then come back
15 at 12:30, so we can continue the discussion. With that,
16 okay, well, we have here, there'll be -- okay.

17 **MS. MAUER:** All right. So I just wanted to provide
18 some brief comments from the efficiency advocates
19 regarding embedded fans.

20 So the efficiency advocate submitted a proposal to
21 CEC last September proposing standards for embedded fans.
22 And in that proposal, we reflected the ASRAC term sheet
23 from the working group, including the scope of coverage,
24 the test method approach, and labeling.

25 In our proposal, we proposed the same exemptions as

1 those that were in the term sheet for fans that are
2 embedded in equipment that's subject to a DOE standard,
3 for which the efficiency metric captures the fan energy
4 used at least to some extent.

5 We also proposed additional exemptions that are also
6 consistent with the term sheet for additional equipment
7 types. For example, fans embedded in transport
8 refrigeration equipment, heat rejection equipment, and
9 air current.

10 Our proposal for the test method approach aligned
11 with the working group recommendations to test embedded
12 fans, add standalone fans outside of the equipment, and
13 then we also proposed labeling provisions that were also
14 consistent with recommendations that were in the ASRAC
15 term sheet.

16 In our proposal for embedded fans also aligned with
17 our separate joint proposal of AMCA and standalone fans,
18 including proposing the same standard levels.

19 Our proposal for embedded fans would provide a
20 number of benefits, including capturing a significant
21 energy savings opportunity for California, reducing
22 burdens on OEMs in those cases where the energy use of
23 the fan is already captured, at least to some extent, in
24 the DOE efficiency metric, by exempting those fans from
25 the scope of coverage. And then also, creating a level

1 playing field for fans in OEM equipment that would be
2 part of the scope of coverage. So in these cases, the
3 fan would be treated the same, subject to the same
4 standards, regardless of whether the OEM was purchasing a
5 fan from the fan manufacturer, or whether the OEM in
6 effect was the fan manufacturer.

7 So the recently finalized AMCA 208 standard allows
8 for applying the SEI metric equally to both standalone
9 and embedded fans. Following the term sheet, AMCA 208
10 specifies that embedded fans can be tested as standalone
11 fans, outside of the equipment, and then AMCA 208 also
12 specifies that for embedded fans, the FEI is calculated
13 based on the airflow and RPM of the fan, as embedded in
14 the equipment. So for embedded fan applications where
15 there are cabinet losses, the pressure provided by the
16 fan when it's tested outside of the equipment is
17 necessarily going to be higher than the pressure provided
18 by the equipment when the fan is embedded due to those
19 cabinet losses. But the approach and AMCA 208 means that
20 you don't need to know what those cabinet losses are, and
21 that's because any fan operating point can be described
22 based on airflow and RPM. So FEI for any design point
23 for an embedded fan can be calculated based on a design
24 airflow and the RPM that's required to deliver that
25 airflow. And similarly, embedded fans can be labeled,

1 based on the FEI at that design flow and RPM.

2 So we're pleased that the staff proposal for
3 embedded fans largely reflects the efficiency advocate's
4 proposal, as well as reflecting the ASRAC term sheet.
5 CEC's analysis shows that the proposed standards for
6 embedded fans would achieve significant cost-effective
7 saving for California, about 430 gigawatt hours per year,
8 and 300 million dollars per year in (indiscernible)
9 savings after stock turnover, and benefit cost ratios are
10 between 3:1 and 5:1.

11 Just in conclusion, we continue to strongly support
12 establishing standards for embedded fans, and we look
13 forward to continuing to work with CEC. Thank you.

14 **MR. GALDAMEZ:** Thank you so much. Let's see, who do
15 we have next? Oh yeah, there's a comment -- go ahead.

16 **MR. ERNST:** This is Skip Ernst with Daikin.

17 So that was embedded fan discussion. Were any
18 embedded fan manufacturers involved in your
19 considerations?

20 **MS. MAUER:** The proposal that I was referring to was
21 the proposal that was submitted by the efficiency
22 advocates, but as I said, we really were trying to draw
23 from the ASRAC term sheet, which, of course, did include
24 the participation of many, many (indiscernible).

25 **MR. ERNST:** But almost all of those manufacturers

1 did not agree with the term sheet.

2 **MS. MAUER:** That's not my recollection. My
3 recollection is that only one -- well, HRI and one
4 manufacturer voted no, and everyone else voted yes.

5 **MR. ERNST:** Not on the energy savings and things
6 like that.

7 **MS. MAUER:** I'm not sure it's worth getting into
8 this, but at the end of the day, there are only two no
9 votes on the entire term sheet.

10 **MR. STARR:** This is Louis Starr with NEEA.

11 One thing I'd like analysis, ASRAC meeting went on
12 all summer long, and I can tell you there's lots of
13 things on there that I really don't like. That's why
14 it's called negotiation, and the idea that fan
15 manufacturers weren't at this, I think the meeting I had
16 with the fan and fan manufacturers back on July 11 when
17 we went over this stuff. The stuff that ends up in the
18 term sheet is negotiated rulemaking, and believe me,
19 there's plenty of stuff that I don't like in there, and
20 that's how -- that's why you have associated rulemaking.
21 But the ideal is this is not what we agreed upon and, I
22 asked Mark -- I can't remember the guy's name, but it is
23 true, there are some manufactures that (indiscernible)
24 they always get to, much to the way I was much against
25 some of the things in there, too, but that being said, we

1 spent a lot of time and effort. We had a couple million
2 dollars sent by DOE to come up with the stuff, and time
3 and energy, and ample opportunities to put benefits in,
4 or put information in, so to say that this was not
5 consensus process -- I mean, I can understand that people
6 would be not in favor of certain things, just as much
7 same way I'm not in favor of certain things that are on
8 the term sheet, but ultimately, the reason we stuck with
9 the term sheet, and we had many discussions about it,
10 too, is that it was a consensus of what negotiated rule
11 of the manufacturers and advocate was. You know, our
12 hope is is that manufacturers will stick to that
13 agreement.

14 **MR. GALDAMEZ:** (Indiscernible). There's one online.
15 Go ahead.

16 **MR. WAGNER:** This is Greg Wagner. A couple things.
17 Regarding the ASRAC term sheet, there are a couple things
18 that are different about that then what's proposed. One,
19 which is the embedded part in that agreement was that if
20 DOE could find legal cause or legal reason to cover
21 those, they would, but they never found that. That was
22 never defined for that.

23 The second thing is (indiscernible) is not the same
24 as what's being proposed here by AMCA. AMCA
25 (indiscernible) and does not -- is not consistent with

1 what the term sheet had, and finally, the (indiscernible)
2 embedded equipment in order to get that second curve they
3 need a test procedure for embedded equipment to be able
4 to get the second curve in order to have something that
5 is consistent with being able to label it.

6 **MR. GALDAMEZ:** We are going to go for that one line,
7 and then we'll go to the next presentation.

8 **MR. TIMOTHY:** John Bade, you're unmuted.

9 **MR. BADE:** Yeah, this is John Bade of Johnson
10 Controls. On the proposal for the marking of the
11 embedded equipment, I do not believe that there was
12 anything in the ASRAC that suggested that the embedded
13 equipment would be marked with an FEI and then some kind
14 of, and always have a total pressure, so, you know,
15 embedded equipment probably, just so often has a fan that
16 would fall under the static test, as they do on the
17 total, yet the proposal really only - the only thing it
18 talks about in the actual language, it just describes how
19 the equipment should be tagged, and it specifically says
20 that it should be based on total pressure. Boy, if that
21 was in the ASRAC, I sure don't remember that. There are
22 a lot of problems with that that I won't go into here,
23 and I will put in my comments, but, you know, there are
24 ways you can apply FEI to embedded equipment, but not
25 what was written in the code.

1 **MR. GALDAMEZ:** Thank you. We just going to go to
2 the next presenter Mark Lessans, Ingersoll Rand.
3 Ingersoll Rand.

4 **MR. LESSANS:** (Indiscernible).

5 **MR. GALDAMEZ:** That's (indiscernible) man.

6 **MR. LESSANS:** Yeah. That's all right. Thanks Alex.
7 For those of you that don't know, Ingersoll Rand is a
8 diversified industrial company. We, through our brands
9 Ingersoll Rand, Trane, Thermo King and Club Car, make a
10 lot of different types of equipment that serve a lot of
11 different industries. But the regulation on fans and
12 blowers will actually have an impact on potentially a
13 number of those different businesses that I'll get into.

14 But ultimately what I'd like to do today is walk
15 through some of the practical impacts that what has been
16 proposed would have on Ingersoll Rand as an original
17 equipment manufacturer for a lot of these products, many
18 of which are already required to meet an energy
19 efficiency requirement and an energy efficiency
20 regulation, and also I guess note that or recommend that
21 really the -- a much more effective way to get the energy
22 savings that are really being targeted would be to
23 address the sole energy performance of that product
24 through a rating rather than attempting to regulate the
25 equipment that's embedded inside of it.

1 So as I indicated there's I suppose two key issues
2 that we have with what's been proposed in the GEC staff
3 report language, and really, I suppose in that regard
4 too, recommendations that we would make in order to
5 improve it.

6 The first would be to be more explicit in the
7 exclusion of fans that are embedded in any product that
8 has to meet an energy efficiency regulation. I suppose
9 from our perspective, logically it doesn't make a lot of
10 sense to only exclude products that have -- that are
11 regulated by DOE appliance standards, but similarly,
12 products that are regulated for energy performance by
13 California Title 20 and California Title 24. The logical
14 argument for why to exclude those embedded fans to us is
15 essentially the same argument. And we would really note
16 that instead of attempting to drive energy savings
17 through regulating those fans, a much more effective
18 alternative would be to address the energy efficiency
19 requirements that are already in place or will be in
20 place for a lot of those products, through a lot of the
21 existing mechanisms that the CEC, and in some cases that
22 was CARB, already have in order to set state policy for
23 those products.

24 In addition to that, there's a few clarifications
25 that have led to some internal confusion for us,

1 specifically around heat rejection equipment and how
2 that's defined, as well as I suppose the way that
3 language is being interpreted around transport
4 refrigeration equipment that's led us to question whether
5 some products are or are not intended to be in scope.

6 For us, the real issues with regulating embedded
7 fans in a lot of this equipment is the fact that in many
8 to most cases, the products that we're asking to be --
9 that we're recommending being excluded, you cannot
10 improve the fan efficiency without increasing the fan
11 diameter and ultimately leading to a redesign, re-
12 optimization requirement for that product.

13 The CEC staff report cited one example that we
14 already discussed a little bit today, which is that you
15 could move from a square in-line fan to a mix flow fan to
16 improve efficiency without increasing diameter. But
17 those fans are only designed and rated for long duct runs
18 and are not used in commercial unitary equipment. An
19 attempt to put that fan in a commercial unitary air
20 conditioner would significantly decrease its efficiency
21 given the other components that are inside of that air
22 conditioner and really just throw up the whole way that
23 that product is optimized.

24 Instead, those products use centrifugal house or
25 unhooded plenum fans and there are no commercially

1 available fans that we have been able to identify that
2 can have the FEI improved without either increasing the
3 footprint of that fan or dramatically reducing the
4 operating point that that point is allowed to run in. In
5 either case, that would force us to have to redesign
6 those and reoptimize those products.

7 As a result, there will be a number of negative,
8 unintended consequences if this language is put into
9 effect in regulation. The first event would dramatically
10 disrupt the way that we design and optimize our equipment
11 in -- with the equipment that I've been discussing here,
12 all these products are comprehensively designed and
13 engineered to maximize efficiency and really achieve a
14 efficiency rating that it must meet. If you instead
15 force us to put a different fan in there and we have to
16 redesign the entire product, it's still going to be
17 redesigned around that efficiency rating that it has to
18 meet, and it will nullify a significant, if not all, the
19 energy savings that you would get.

20 Additionally, there are some energy efficiency
21 features that can -- that would be degraded in a lot of
22 these products, the best example that we could point to
23 is in the economizing function in a commercially unitary
24 air conditioner. If you restrict the operating mass of a
25 release fan in a unitary air conditioner to the point

1 where it can no longer properly economize, the
2 compressors will run longer and harder, and the unit will
3 absolutely use more energy.

4 Finally, like every other company, we have to
5 prioritize where we put our innovation dollars into
6 improving our products. And if we have to redesign and
7 reoptimize our entire portfolio around a new set of fans,
8 that will eat into our ability to improve our product
9 line for higher levels of efficiency as well as to
10 accommodate alternative refrigerants, both of which we
11 have existing plans for, but that would be significantly
12 disrupted if we had to redesign our entire portfolio to
13 meet a fan standard.

14 So we tried to, in the time that we had, do a
15 product level analysis of what it actually meant to
16 require a FEI of 1.0 in embedded fans in a large
17 commercial unitary air conditioner; and this is one that
18 is not regulated by DOE for IEER but is -- you can find
19 the IEER requirements for this air conditioner in Title
20 24. It is regulated for its performance.

21 First we took that unitary air conditioner and put
22 it on top of the ASHRAE headquarters building and placed
23 that building in Sacramento, California, and ran an
24 energy model. And the numbers that you see on the left
25 are the total amount of electricity that's consumed by

1 each of those fans. And it's -- and so this is -- it's
2 important to note that this is not based on AHRI 34360 to
3 the extent that we made those types of assumptions. This
4 is based on what we saw out of the model when it was run
5 through an energy model.

6 We then made an assumption and without actually
7 redesigning and reselecting the fans, we just held the
8 allowable energy consumption of those fans to what it
9 would be if they met and FEI 1.0 requirement and the
10 theoretical maximum energy savings that we got, that is
11 the energy that would be saved before we have to redesign
12 the product around that IEER would be around 12,000
13 kilowatt hours per year. It's important to note that
14 that is a theoretical maximum. Once we have to redesign
15 that product, we will do so around that same IEER
16 requirement, and so that will nullify almost all the
17 energy savings that you get. The cost to do that though,
18 the increase in cost that the consumer will see for that
19 new product based on some analysis that we have conducted
20 and submitted to the CEC -- we estimate that would be --
21 that would increase the cost of the seventy-ton rooftop
22 unit by \$17,000. That comes from an estimate of \$246 per
23 cooling ton, and that's an assessment that we'd done
24 across our entire unitary portfolio for those products
25 which have a fan in it that does not meet an FEI of 1.0.

1 We also had a brief discussion about this analysis
2 presentation; the example that was shown was provided by
3 Trane, that was one fan in one rooftop unit that happened
4 to meet an FEI of 1.0 at all of its operating points. I
5 can tell you that a majority of the fans that we're
6 looking at do not and we're looking at substantial
7 product redesign. It's also important to note, as I said
8 before, that almost all these fans are captured by the
9 IEER efficiency metric and so they're already regulated
10 by -- their energy consumption, with the exception of the
11 release fan is already captured by IEER.

12 Similarly, we did a -- we did this -- we tried to do
13 this process to the greatest extent that we could for
14 industrial air compressor, which does contain a heat
15 rejection fan, which we are, I suppose, unclear right now
16 whether or not that is intended to be in or out of scope
17 of what the EC has proposed. These fans currently are
18 not designed to any kind of FEI metric, so we did the
19 best we could. And so for the sake of argument, we
20 assume that the heat rejection fan in that compressor was
21 improved by ten percent. Again, the theoretical maximum
22 energy savings, you get are 800 kilowatt hours per year
23 for that fan.

24 That said, like the unitary air conditioner, it
25 would have to be completely redesigned and it would be

1 done in order to meet the isentropic efficiency rating
2 for that product. But the product itself would have to
3 have a larger product enclosure, like the unitary air
4 conditioner, and be completely reoptimized for
5 efficiency.

6 So as I indicated at the beginning of these
7 comments, I'm not here to tell CC or anybody else that
8 we're afraid of having our products regulated and that
9 don't support energy efficiency regulations, even
10 aggressive ones, for our products. That policy mechanism
11 actually aligns quite well with what Ingersoll Rand has
12 determined is going to make us successful long term and
13 certainly aligns with what California has laid out as its
14 higher level long term goals for carbon reduction energy
15 efficiency.

16 What I want -- my goal and really what I want to
17 communicate to you today is that there is a much better
18 way to get through actual guaranteed energy savings, and
19 that is through addressing the energy efficiency ratings
20 rather than the components for a lot of these products.
21 For the two examples that I gave, CEC has the authority
22 to do that today, and they are -- they could do that
23 through Title 24 for air conditioners, and they are --
24 they've started -- they've opened up a rule-making docket
25 to do that for air compressors. And for the majority of

1 the products that we have, that we're asking to be
2 excluded, the California Energy Commission has the
3 ability to do that today.

4 So that's everything that I have. I thank you for
5 your time and I will certainly -- will go into much more
6 detail on our comments and happy to answer any questions
7 that I can at the appropriate time, to the extent that I
8 can. Thank you.

9 **MR. GALDAMEZ:** So go ahead. One more comment. Just
10 last comment because we're going to break for lunch after
11 this.

12 **MR. STARR:** So this is Louis with NEEA. So I think
13 an important thing here is I saw the total energy being
14 five percent of an energy model, so in northwest we do a
15 lot of energy modeling of our buildings. And I'm --
16 first of all, I guess it'd be helpful to see what your
17 modeling is, but I don't think that five percent of the
18 energy is the total energy used or HVAC is only five
19 percent. I think it's more like fifty percent. So we've
20 got a pretty disconnect on that number, but maybe you can
21 help me understand that.

22 **MR. LESSANS:** Just to clarify it was about eighteen
23 percent from the fans. The relief fan was, I believe,
24 three, three and a half percent, the supply fan was five.
25 We'd be happy to share that energy model that we've done

1 with you. But again, we're talking only about the energy
2 that's being consumed specifically by that unitary air
3 conditioner and not any of the other air side products
4 that are -- that fall outside of that box.

5 **MR. STARR:** Okay. Well in the case -- the 760,000
6 stuff is not covered by any regulation now, right?

7 (Indiscernible)

8 **MR. LESSANS:** That's not true. That -- Title 24
9 sets an IER requirement for that product.

10 **MR. STARR:** You're just looking at it as a general
11 thing. Anyway, I mean my takeaway is so the supply fan
12 and return fan --

13 **MR. LESSANS:** Do I need -- I'm sorry. Do I need to
14 clarify what it means for Title 24 to set an IEER
15 requirement for that product?

16 **MR. STARR:** Yeah, sure.

17 **MR. LESSANS:** So all -- you cannot put a product
18 that does not have an IEER of really, I believe it's
19 11.2 -- you cannot sell an air conditioner that does not
20 meet that requirement in the state of California because
21 of Title 24. We --

22 **MR. ERNST:** Or eleven (indiscernible).

23 **MR. LESSANS:** Thanks Skip. We don't make any air
24 conditioners that fall under that requirement because
25 that's also what's in 90.1, and you can -- that's -- it

1 would be illegal based on Title 24 for anybody to put
2 that product in on a building in the states.

3 **MR. STARR:** So I guess your point is that
4 essentially you have a regulation that you need to meet
5 on supply and condenser fans of 11.2 and then the
6 remaining five percent on relief fans.

7 **MR. LESSANS:** 3.6 percent.

8 **MR. STARR:** Yeah, three six percent. So okay.
9 Well, that's helpful. So in other words, in general in
10 this centrifugal box, if you looked at everything, maybe
11 more -- a higher number like fifty percent or something
12 less -- I mean Sacramento, I think is five, so at a
13 different climate, it's probably more standard -- But I
14 look at this in general and say this is a product that's
15 not regulated at all right now. I mean I know Title 24,
16 but the Title 20 standards, there's no requirements on
17 it, you went with the whole fan (indiscernible) so I get
18 that part.

19 **MR. LESSANS:** I guess I'm having trouble why it
20 really matters whether it's Title 20 or Title 24? We --
21 it's similar to -- just like with a DOE appliance
22 standard for this product, it can't -- it would be
23 illegal to sell this product in the state of California
24 that doesn't meet an IEER rating of 11.2 or 11.0
25 depending on the heating element. That's not -- that's

1 the law in the state.

2 **MR. STARR:** Right. Well I'm just -- I'm trying to
3 get (indiscernible) the opportunity is and --

4 **MR. LESSANS:** So I guess, I'm not sure. I mean we
5 can talk about this online plenty, but all I'm saying is
6 that the only portion of that electricity consumption
7 that isn't already regulated by the IEER, is that relief
8 fan. And the other issue that you run into, as I
9 mentioned, is if you start limiting the operating map of
10 that relief fan to the point where it's compliant with a
11 FEI of 1.0, that product will not be able to operate in
12 free cooling, which means it will use more electricity,
13 not less.

14 **MS. ANDERSON:** And for Title 24, is that a new
15 construction requirement? Or is that -- because it's --

16 **MR. LESSANS:** Not for replacement. If you're
17 replacing a like to like product, it has to meet the new
18 requirement in that efficiency table. You can't ignore
19 those efficiency tables in -- for replacement equipment.

20 **MR. ROY:** Yeah, Mary , this is Aniruddh Roy with
21 Goodman, just to comment on what Mark said, I think he's
22 referring to table 110.

23 **MR. LESSANS:** I can --

24 **MR. ROY:** Which then in Title 24 would be -- so I
25 think Mark is referring to table 110 which -- or tables

1 110, in section 110 A or B which sets the EER and IEER
2 levels, which I think then get referenced on both new
3 construction and additions and alterations.

4 **MR. LESSANS:** And additions and replacement of a
5 rooftop unit, it's pretty clear that in the additions and
6 alteration section of Title 24 and 90.1 that that applies
7 to the energy, the IEER and the EER requirement for that
8 rooftop unit.

9 **MR. GALDAMEZ:** Last comment because we got to break
10 for lunch, otherwise we're going to be late. Do you want
11 to do it or no?

12 **UNIDENTIFIED SPEAKER 3:** So just real quick, one
13 thing I would say. Even just on return fan, if you think
14 about it, how are you going to drive -- this is the
15 release fan, return fan -- how is the efficiency going to
16 be driven to more -- in other words, how is the market
17 going to say hey, I want to -- the design engineer says I
18 want a really efficient fan, and how would the
19 manufacturers be encouraged to provide that? What's
20 your -- is it just in picking up the IEER, you think that
21 we'd catch it, since it doesn't catch the return fan?
22 You're saying -- help me understand that.

23 **MR. LESSANS:** I guess we're rarely asked that
24 question because the importance of that relief fan is to
25 allow that system to do free cooling. If it's -- in its

1 normal operation, it actually generally will -- like in
2 its operation, when that system's providing conditioned
3 air, it's going to fall generally in a FEI of 1.0
4 operating range. The reason for that 3.6 energy -- well,
5 the reason for its higher energy consumption is when it
6 has to work harder to depressurize the building because
7 it's providing a lot more ventilation air because the
8 compressor operation is required less.

9 So I guess yes, we're always looking for ways to
10 save energy in our products, but we -- that -- to
11 redesign our product around an economizer fan is just --
12 it would be unheard of from a system's efficiency
13 perspective.

14 **MR. GALDAMEZ:** Okay. So we're going to let this
15 conversation go for later. We're going to break for
16 lunch right now, and I'll see you guys in an hour. Thank
17 you.

18 (Whereupon, a recess was taken)

19 So we're going to go ahead and start the second part
20 of this incredible meeting. Woo-hoo. Yeah. So we're
21 going to have PG&E, do a presentation right now. So if
22 you can come to the podium and we can get this rolling.

23 All the people online, thank you for your patience.
24 Sorry, we are starting a little late. Just getting the
25 presenters back in the room.

1 So there's two ways you can use the page down, you
2 just got to be a little firm with it. Or you can use the
3 mouse and use the little arrow here on the right. Okay?

4 **MS. ANDERSON:** So I just wanted to start this out,
5 and I'll introduce our team. My name is Mary Anderson
6 from Pacific Gas and Electric. And this presentation is
7 on behalf of PG&E, Southern California Edison, and SPG&E,
8 as part of the codes and standards program. We are first
9 of all, very grateful to the CEC for undergoing this
10 rule-making. We think that there are significant savings
11 through regulating fans both standalone and embedded.
12 And the -- what we're about to present is some of our
13 analysis that we think -- we'll look at embedded fans and
14 some of the potential energy savings taking into account
15 some of the -- the comments we've received up until this
16 point, especially from AHRI.

17 And so I'm going to have Chad come up and go -- Chad
18 Worth from Energy Solutions come up and give the overall
19 presentation. If you have questions or would like to
20 provide additional data to us to kind of edit what we put
21 on the docket, we are happy to do that. Please either
22 send any inquiries to myself or to Chad, and we are happy
23 to sign NDAs. It's not the quickest process but no NDA
24 is. And we are happy to change and learn more about what
25 the concerns and the interests of the manufacturers are.

1 **MR. WORTH:** Thank you, Mary. And thanks all and the
2 CEC for having us this morning and this afternoon.
3 Again, my name's Chad Worth, I'm with Energy Solutions
4 and a consultant on behalf of the statewide codes and --
5 IOU codes and standards team.

6 The IOUs have been fortunate enough to be involved
7 in this process with many of you for a number of years
8 back when, I think, it first kicked off in 2011. We
9 participated in some of these voluntary private
10 negotiations early on with AMCA and the rest of the
11 efficiency advocates. We are also on the ASRAC
12 negotiated working group, we commented on the NODA III,
13 and in 2017 we responded to the CECs invitation to
14 participate with some information, and then also worked
15 with a number of stakeholders including the AMCA group,
16 and we're signed onto the joint AMCA advocate proposal
17 for standalone fans and signed on to the joint advocate
18 proposal for embedded fans. And obviously in 2018, AMCA
19 208 is finalized. Good job, everyone, there, and we are
20 continuing to work with efficiency advocates and the
21 industry and working specifically on updating key data
22 inputs to assist CEC in their analysis.

23 At a high level, this is kind of as I mentioned
24 already, we broadly support what CEC -- the CEC staff
25 proposal. It's going to lead to a lot of cost

1 effective -- well, energy savings statewide, all benefit
2 the cost ratios, there's 3:1 or greater and the staff
3 report covers the scope that was outlined roughly in the
4 term sheet covering standalone and embedded fans.

5 This has been talked about already, and I'm sure
6 we'll talk about it more -- the scope inclusion of
7 embedded fans -- but for some of the reasons that have
8 already been stated, we support the inclusion of them
9 within the staff report as it helps level the playing
10 field for fans and OEM equipment. So they're treated the
11 same whether they're as a standalone fan that often ends
12 up in embedded equipment, or if it's manufactured in-
13 house. We think it'll help make the fan standard more
14 enforceable to have to cover embedded fans as well. And
15 of course, most importantly, it leads to additional
16 energy savings.

17 We do have some recommendations to the fan
18 shipments. So we looked at a lot of the information that
19 came in on the docket last September and reviewed a lot
20 of that very carefully and our -- it helped inform a lot
21 of our recommendations we're going to be making to the
22 energy commission. And the whole -- the intension of
23 revising the number of these inputs is to give a more
24 accurate estimate of what the impact of such a regulation
25 will be in California. Our overall recommendation about

1 the standard levels has not changed, but we think this
2 will give a more accurate portrayal, and we look forward
3 to continuing to update this as the process goes.

4 We looked at some of the rooftop unit comments that
5 came in and some of the suggestions of what the CEC
6 should use. We, generally, due to some of the market
7 conditions in California -- the Title 24 requirements at
8 large --, they require economizers and we have some
9 suggestions on the shipment assumptions California should
10 use in their analysis, and we'll be docketing those. We
11 also looked extensively at the air handler unit shipments
12 and looked at that from a number of different angles and
13 appreciate a lot of the information that was put on the
14 docket, and we'll be suggesting some revised air handler
15 unit shipments, similar with air cool chiller fan
16 shipments and some of the suggestions that were put on
17 the docket. And we've also added a few shipments that
18 were not previously included in the NODA III analysis
19 such as DOAS equipment and coil units, and ERV, HRV, fan
20 units, that all fall within the scope of the staff report
21 and the term sheet.

22 With -- what we'll be putting on the docket to --
23 again to help CEC with analysis are some updated unit
24 energy consumption values. Here these are just shown at
25 a high-level rule, embedded and standalone into one. We

1 will be providing these separately on the docket. These
2 reflect some of the changes to AMCA 208 and just overall
3 changes to the shipments that were previously described
4 and how that impacts the representative sample. And
5 similarly with the incremental measure costs, we'll be
6 providing this broken out to CEC.

7 We'll -- as many others here we're learning a lot
8 and continuing to review the staff report, and we'll
9 likely be working with other fellow advocates and
10 stakeholders to develop further recommendations and
11 opportunities for improvement. So far, we've kind of
12 been looking a lot at the labeling and reporting, and we
13 look forward to putting some of those comments down in
14 writing.

15 So in summary, the IOUs commend CEC on a strong and
16 thorough staff report. We support the current scope as
17 defined, we plan on docketing updated information that
18 will assist CEC in giving an accurate portrayal of this
19 regulation in California. And of course we look forward
20 to the continued dialogue with everyone here and other
21 stakeholders we've been working with. Thank you.

22 **MR. GALDAMEZ:** I think there's a question online.

23 **MR. TIMOTHY:** Ron Chevic (ph.), you're unmuted.

24 Ron, do you have a question?

25 **MR. CHEVIC:** I'm sorry, my question was, I'm trying

1 to get the video. I lost the video connection. I
2 thought maybe you guys would have the video up.

3 **UNIDENTIFIED SPEAKER:** Okay. We'll work on it right
4 now.

5 **MR. GALDAMEZ:** Right. Okay. So well, while we fix
6 that, we're going to have AHRI go ahead and present? Let
7 me show you how to --

8 **MS. PETRILLO-GROH:** Shouldn't have touched it. All
9 right, good afternoon. I'm Laura Petrillo-Groh with the
10 Air Conditioning, Heating, and Refrigeration Institute.
11 AHRI represents 300 plus member companies in the heating,
12 ventilating, air conditioning, heating, refrigeration,
13 and water heating industries.

14 We, as there will be no surprise to anyone here,
15 have significant concerns with this regulation. We
16 understand that the work that the CEC staff has done has
17 been very good considering the complex nature of this
18 regulation, and we look forward to working with you all
19 to make something that is actually achievable, is energy
20 for the state, the consumers and the businesses of
21 California and manufacturers are able to comply with.

22 Just to give you a high level of our concerns, we
23 see at this point California moving ahead with an
24 extremely complex regulation for a product that has not
25 been defined, which as proposed violates federal

1 preemption based on incomplete and essentially draft
2 analysis on an accelerated rule-making and implementation
3 schedule that stands to increase energy use in embedded
4 applications, and I'll go over some examples which
5 illustrate a reduction in FEI for variable flow systems,
6 or with reduction subsistent pressure drop. Both
7 measures absolutely and clearly reduce energy
8 consumption, and which will confuse and increase costs to
9 California businesses and consumers.

10 So regulated products, all fans in all regulated
11 products need to be exempt from this regulation --
12 federally regulated products as well as California
13 regulated products. For federally regulated products,
14 the ASRAC working group list is incomplete and we have,
15 as Ingersoll Rand mentioned -- Mark mentioned -- there
16 needs to be additional clarification for transport
17 refrigeration fans that can be plugged in to the grid.
18 There are a number of additional products which need to
19 be excluded, clearly, from the scope, including small
20 commercial or split system air conditioning and heating
21 equipment that are three-phase with a cooling capacity
22 less than 65,000, as well as hydronic heating and burner
23 fans. For those products, there was no analysis, and
24 they served different functions. Similar to CEC
25 highlighting that fans and vacuums are not used for air

1 movement for ventilation, these products, as detailed by
2 Jeff and Lochinvar's presentation, are precisely matched
3 to burner and heating applications and stand to increase
4 overall energy consumption if are required to comply with
5 a FEI.

6 We also have refrigeration systems. We're not
7 included on that ASRAC working group list and should be
8 excluded from the California regulation. Also as
9 previously mentioned, there are products which have
10 product performance or performance and Title 24
11 requirements which should be exempt from this, including
12 very large equipment over 750,000 BTUs, commercial split
13 condensing units, air cooled chillers, and central
14 station air handling units.

15 We have discussed the problems with economizer fans
16 and with heat rejection fans. There's no definition in
17 the California draft report, and we support what was
18 proposed by Cooling Technology Institute as part of the
19 ASRAC negotiation. We also see problems with the
20 availability of replacement fans for any product that
21 needs to be repaired rather than replaced in the
22 California market, if we're not allowed to replace a fan,
23 like for like applications. But I cannot say it strongly
24 enough, that all fans in all regulated equipment need to
25 be exempt.

1 So the DOE NODA III analysis requires pretty
2 significant corrections. We had supplied that
3 information to the Department of Energy and to CEC as
4 part of the AHRI proposal for this rule-making submitted
5 back in October of last year. The major errors that we
6 saw are the air handling unit annual fails, the percent
7 estimated return, return air fans and exhaust air fans on
8 unitary equipment, the number of air cooled chiller
9 condensing fans per unit, and the underestimation of
10 development costs. We appreciated the information
11 provided by CEC staff today on how we can provide
12 better -- or the information that you need to move
13 forward -- how we can do that, we'll need to have further
14 conversation on I think -- but these have been
15 extensively detailed in our previous work for this
16 proposal -- for this regulation.

17 Let me go over some of those though, for those that
18 have not read our proposal. We clearly detailed required
19 changes to the DOE analysis for the national impact
20 analysis and the lifecycle costs in our proposal. The
21 face case shipments for California is different from the
22 national average. The -- there were also errors in
23 referencing in those DOE spreadsheets that we provided
24 a -- information on to CEC, it would need to be adjusted
25 so that the calculations would be able to be complete and

1 correct. The equipment costs, again -- we'll provide
2 more accurate numbers based on the feedback that was
3 provided at today's meeting. And then the California
4 electric rates and TDV should be California specific
5 information should be accounted for rather than the
6 national average.

7 Specific to centrifugal fans -- this report I keep
8 referencing -- I'll go into more detail in the next
9 slide, but it's from the US Department of Commerce,
10 current industrial report. And it was the best
11 information that was available at the time when the
12 report was originally -- or the analysis was originally
13 started. However, since that time, a revised report has
14 been issued and we hope it wouldn't be that difficult to
15 make a correction of a government report in the analysis.
16 For percentage of commercial unitary units with return
17 exhaust fans, we provided a more accurate percentage,
18 which was the best information we were able to provide
19 without going into specific market shares of our
20 manufacturers.

21 We need CEC staff to look at the existing power
22 limits and other provisions that are already in Title 24,
23 any design -- any product sales or design of a system in
24 California needs to comply with Title 24. In the staff
25 report, there was mention that major renovations would

1 not have to meet provisions in Title 24. However, that's
2 not how the Title 24 department here sees it. They
3 are -- any new major piece of equipment is a retrofit and
4 needs to be permitted. It goes through the permitting
5 process as a major alteration and needs to comply with
6 any efficiency standards in Title -- or referenced in
7 Title 24, or any of the prescriptive or performance
8 measurements as well. So I think that that part of the
9 staff report needs to be looked at.

10 So the major change you see in the Department of
11 Commerce current industrial report revises the number of
12 units shipped between, I guess, 2004 and 2005. And the
13 change we think is due to -- looks like is due to a high-
14 sales volume product, which would most likely be a room
15 fan coil, many of which are outside the scope of the one
16 horsepower lower limit. And as we provided the
17 information in our draft proposal, the revised numbers
18 align with our AHRI statistical reporting, which we
19 cannot release at this time. But we gave a rough
20 estimate as much as we could of what the numbers are
21 actually for central station air handling units, and this
22 much more closely reflects that number.

23 It also provided additional corrections to the
24 analysis regarding panel slant fans, which we think that
25 the DOE got wrong and incorrectly characterized as

1 independent products. And virtually all these panel fans
2 that are embedded are required to meet efficiency
3 standards in Title 24 or 90.1. The remote -- there were
4 problems with incorrect characterization of products
5 using commercial refrigeration as well. And as many
6 manufacturers had mentioned, any change of the fan will
7 end up rebalancing the energy -- the product design
8 rather than saving energy. There was incorrect but
9 offsetting shipment data that we outlined in our report
10 as well. So we would like that corrected even though it
11 mostly -- the errors mostly offset each other. So for
12 commercial water heating and boiler fans, I won't dwell
13 on this, however, any federally preempted products should
14 not be included in this regulation.

15 After we provided our -- we went through a detailed
16 analysis for a proposal which really excludes embedded
17 fans. We wanted to give the potential energy savings for
18 the US and what that looks like with all these
19 corrections, and it revises down to a much more - the
20 original NODA is not correct for the embedded fan
21 performance.

22 So we do acknowledge that the NODA III data is the
23 best available data; however, it's still a work in
24 progress. There were known substitution issues that are
25 stated in that report, and the lack of the individual

1 Monte Carlo test makes that -- makes further analysis
2 extremely difficult. And we think that California needs
3 to undertake its own analysis with maybe the NODA
4 III as a starting point. But rather than just make edits
5 to and change that, it needs to be much more complete and
6 really reflect what the market is doing in California
7 with different base line. There's much more stringent
8 building codes in this state than there are in the
9 national average, and the opportunities for savings are
10 not as significant as you would get if you just looked at
11 the twelve percent of the energy savings from that NODA
12 III.

13 So as I'm running short on time, I can let John
14 Bade -- we can put John Bade on -- take him off of mute
15 and let him present because he provided these pretty
16 great examples.

17 But we wanted to show where you see FEI increasing
18 and not an increase in overall energy savings for the
19 product. There are three ways to reduce energy
20 consumption with the fans. And you can either use a more
21 efficient fan transmission, and or controller, you can
22 make a system truly -- or variable volume air flow, or
23 you can reduce the pressure required to circulate the air
24 by specifying and installing larger ducts and larger
25 components, which have a lower pressure drop. However,

1 only one of these three options will improve FEI. When
2 you add a variable speed drive, you could end up with a
3 lower fan efficiency. In the illustration we got static
4 pressure on the Y and the air flow on the X-axis; in
5 illustrating changes in system design, airflow and fans
6 are fixed, and the flow resistance is reduced. So you
7 see that only in the top left part of the selection
8 bubble for these -- shaded for where the FEI is greater
9 than one, will you end up with increasing FEI for when
10 these changes are made. However, all three of those
11 yellow arrows and anything to the right of the peak
12 efficiency line will yield a lower FEI when you reduce
13 the flow.

14 We also see that for these two different -- these
15 are real air handling unit selections with identical
16 fans, motors, and transitions with identical performance
17 except for the fan break core style performance at the
18 design point. The selection criteria is outlined on the
19 screen, and the differences between the two units -- that
20 unit b has a larger cabinet, larger coil, and filter face
21 areas, and a larger entrance and exit opening. What you
22 see that the -- that you end up with a lower FEI -- I'm
23 sorry, a higher FEI for a higher rate horsepower. And I
24 know that these are different duty points, but it may not
25 be the most appropriate metric for an embedded fan

1 application.

2 So we also notice that in these two examples, this
3 is unit B, with and without a VFD and adding -- where you
4 see the VFD added, the calculation for an FEI was
5 actually lower, and this was for the same duty point.

6 So we're having trouble seeing how this metric works
7 for embedded fans with no energy saving measures taken.
8 I think at its core, this entire metric is -- it's, in
9 regulation, is an application-based metric and belongs in
10 Title 24. There's no fan selection being knocked off;
11 there's no sales that are -- you can't enforce the sales
12 of these products except through Title 24, where there's
13 design criteria and the ability to select a fan with an
14 FEI that stands alone. You don't have to include a fan
15 that's an emergency fan in that -- in Title 24. But
16 defining those features in an appliance standard is
17 extremely difficult from what we've seen.

18 I can't remember who, but it was definitely
19 mentioned that the first public review for addendum AO
20 was released, so I know that California has had the
21 opportunity to see that and comments are due July 29th.
22 However, I think California should and actually would be
23 required to consider this as a introduction of this
24 regulation in Title 24 as a viable alternative to a
25 regulation through Title 20.

1 So the other ways that we can encourage more
2 efficient design systems in Title -- in an appliance code
3 would be to require variable flow operations meeting regs
4 for certain products. And there are ways to address
5 these issues that I've discussed here in different ways,
6 but I think we have to think outside of the box -- sorry,
7 bad embedded fan joke. Thank you for that obligatory
8 little laugh; it's a tough audience.

9 So looking again at the fan pressure rise, we want
10 to make sure that's it clear that consumers -- that a
11 higher FEI does not necessarily result in energy savings
12 when two fans are not operating at the same duty point
13 are compared. And that would include the system, the
14 cabinet effects within where the fan is embedded. So
15 we've proposed some ways to clarify the definition of
16 FEI, and we'll put those more in written comments.

17 So we also see some pretty big -- we also have some
18 concerns with the labeling and reporting that was
19 proposed in the draft staff report. There are issues
20 with fan serial numbers not existing, with the ways the
21 basic model groups are laid out, and how we would report
22 numbers without acknowledging other standard air or
23 density. There's high altitude performance in your
24 beautiful Lake Tahoe area that will be different than it
25 would be at your sea level cities. And amplitude ten

1 does require standard density, but that may not mesh well
2 with the way that if unitary products are included in
3 this regulation, how they are required to be rated.

4 The implementation for this is extremely aggressive,
5 from -- we've eluded to maybe including more time to
6 comment on this draft reg, which we would definitely
7 appreciate, and we have submitted a sixty-day request for
8 extension. But one year for implementing the standard
9 is -- I'm not sure that would be able to be complied by
10 many manufacturers at all. Looking at the federal rule-
11 making, we have advocated for an additional two or three
12 years after standalone fans would be required, so that we
13 would be able to do all the testing and required testing
14 on the embedded side.

15 In enforcement, there are many issues when you look
16 at this from an embedded fan perspective and having to
17 deal with not being aware of design conditions and not
18 being able to verify this information. So from an
19 enforcement perspective, how would that even happen? We
20 would want to know how California sees the opportunity to
21 enforce these standards when it comes to embedded
22 products. I mean, there's nothing to keep a designer or
23 owner from changing a non-compliance selection to a
24 compliance selection by artificially increasing the total
25 static pressure of the system.

1 When the unit is installed the conditions are
2 significantly different than the design conditions. Will
3 that actually save energy or how -- and how would -- how
4 is California going to go through enforcement of that?
5 At the end of the day, these are all application issues
6 rather than compliance issues. It's also -- yes, Armin?

7 **MR. HAUER:** (Indiscernible).

8 **MS. PETRILLO-GROH:** OEM, and I think maybe not even
9 the fan manufacturer would always know the design
10 editions if they're selling to an OEM. But for stock
11 units, they wouldn't know.

12 **MR. HAUER:** A equipment designer should know the
13 design condition, right?

14 **MS. PETRILLO-GROH:** The equipment designers?

15 **MR. HAUER:** Yeah.

16 **MS. PETRILLO-GROH:** Not if it's actual of where it
17 would be installed.

18 **MR. HAUER:** You have the rating point, right, of
19 your equipment. And for that rating point, you have to
20 have the CFM, and you know the RPM.

21 **MS. PETRILLO-GROH:** Well, they -- I think
22 (indiscernible) do you want to --

23 **MR. SHEEHAN:** The building designer knows -- Darren
24 Sheehan from Daikin. So yeah, at the rating point that
25 data could be gathered. But as Skip said, the designer

1 of the building would know all the information from their
2 pressure drop, what flow rates they want to run the
3 equipment at. But a stock piece of equipment, it's set
4 up to run in a certain range of air flows and static
5 pressures. And so depending on how that's applied, as an
6 OEM, we don't know its final exact characteristics when
7 it's applied on a job by job basis.

8 **MR. HAUER:** But this is an appliance regulation,
9 right? It's still Armin Hauer speaking with ebm-papst.
10 So in an appliance regulation -- this is not a building
11 regulation, right? So if you rate your (indiscernible)
12 so many BTU per hour, then that should be a design point,
13 and the fan has to be selected for the design point.

14 **MR. ERNST:** That's entirely -- this is Skip Ernst.
15 That's entirely incorrect. On stock equipment is the
16 most glaring example. The equipment is made and exists
17 before the designer has even done his design. I mean
18 that's entirely possible.

19 **MR. HAUER:** The building designer?

20 **MR. ERNST:** Right.

21 **MR. HAUER:** Yeah.

22 **MR. ERNST:** So to look at -- the customer is going
23 to go pick up the unit with a pickup truck, and they --
24 the installer may or may not know the design conditions,
25 but it's never passed to the manufacturer.

1 **MR. SHEEHAN:** Skip, this is Darren Sheehan again
2 from Daikin. Even on an engineered job where engineering
3 firms are laying out the exact characteristics and
4 airflows of the equipment, so a manufacturer would know
5 that beforehand, their design conditions aren't
6 necessarily at AHRI test rating conditions to get that
7 rating point. It can be applied in a variety of
8 different climates and altitudes and things like that,
9 right? So the unit complies with the efficiency
10 standards, right, based on the test standards and all the
11 temperatures and flows, but then it's applied in a
12 variety of ways into building design.

13 **MR. HAUER:** Armin Hauer speaking. So how about you
14 just use electrical ratings that you need for electric
15 code, in these conditions? That would be a fixed
16 condition, right?

17 **MR. ERNST:** But it has nothing to do with the design
18 conditions, which is what the -- I think what the staff's
19 proposal looks at and is the only way that it'll save
20 energy. I mean to look at some fictitious condition
21 which may or may not be close to design conditions, that
22 doesn't save energy.

23 **MR. HAUER:** Thank you.

24 **MS. PETRILLO-GROH:** So lastly, I think this is a
25 little bit more about what will happen if a fan is sold

1 to a California manufacturer for sales in an excluded
2 product outside of the state. So does that fan have to
3 comply going into the state because that's where it's
4 being sold to and even if the final use is outside the
5 state, because we do have manufacturers who --

6 **UNIDENTIFIED SPEAKER:** (Indiscernible).

7 **MS. PETRILLO-GROH:** Oh, yeah. Yeah. Please, John,
8 if you want to chime in. But that was my last point.

9 **MR. TIMOTHY:** Okay. John Bade, you're unmuted.

10 **MR. BADE:** Okay. So to clarify the issue around the
11 selection point, and by the way, I'm going to back up a
12 bit. So I am a -- I'm with Johnson Controls; my name is
13 John Bade. I was a voting member who voted
14 enthusiastically in favor of AMCA 208. I was on the AMCA
15 208 technical committee and I believe that there is a lot
16 of good value in using the FEI metric when properly
17 applied. I believe it can be well applied in an
18 application code like Title 24 or 90.1. And I'm
19 currently working on a draft regulation -- some people in
20 the room there have participated with me -- for 90.1 that
21 incorporates FEI.

22 I think it's tricky, it's going to be really tricky
23 on an appliance standard like Title 20. So when people
24 were talking about well, you know the design conditions.
25 Well, you may know the design conditions, but the fact of

1 the matter, that you can -- as a designer you can move
2 the pressures around, and what the claims pressures are
3 means that it really becomes very difficult to enforce.

4 So for example, if I have an exhaust fan that's at a
5 .9 FEI, I've got a couple of choices. I can say, okay,
6 I'm going to stick with my same duct design and my same
7 pressures, and I'm going to go buy a bigger fan, and
8 hopefully people -- some people would do that. But quite
9 frankly, the much easier option is to say, I'm going to
10 announce my pressure is higher, and that's very easy to
11 do. So one of the pieces that is in all of our air
12 handler selection equipment is the user enters how much
13 they want to allow for a dirty filter pressure drop. So
14 we know what the pressure drop is for a clean filter, but
15 the user gets to pick when that filter's going to get
16 changed out. So if I'm in that case where I've got that
17 .9 fan, sure I can go to a bigger fan or I can just say I
18 don't want to go to a bigger fan; I'm just going to say
19 my dirty filter pressure drop is now three-quarters of an
20 inch instead of half an inch and I'm compliant.

21 The biggest concern I have though, and that goes
22 back to those slides that I created for this presentation
23 that show that when you make system design changes that
24 reduce the pressure or you add a variable speed drive, it
25 makes the FEI go down. And I'm very concerned that

1 consumers and users in general don't get it in their head
2 that better FEI always means lower power consumption. In
3 the examples that I gave, my concern is somebody will
4 present a design and then somebody presents a different
5 design that has a lower pressure drop and has a lower
6 FEI. People who are not well educated will think lower
7 FEI -- well, that's going to consume more power, when
8 that would be exactly wrong. So at a minimum, I would
9 ask that the definition of FEI absolutely state that you
10 have -- FEI is only a good metric for comparison when you
11 know for sure that you're at the same fan duty point.

12 And then from an enforcement point of view, and I'll
13 get into more of this in my written comments, I am very
14 concerned that the way I read Title 20, if a fan
15 manufacturer, and this is whether it's standalone or OEM,
16 has their fan in the database; no matter the size of
17 their FEI bubble, whether it's the one you see here or
18 it's companion one that's a lot smaller, that makes the
19 fan then legal for sale in California. There is no
20 language in the proposed code that requires that the fan
21 be operated or even sold to be operated in those
22 conditions. I mean so if somebody walks into the
23 distributor and says, hey, here are my conditions, and
24 the guy behind the desk says okay, I can sell you this
25 fan; it's got a .8 FEI, or I can sell you this other

1 somewhat more expensive fan that has a 1.2 FEI, and the
2 consumer says I want the one at .8, I don't believe that
3 there is anything in the enforcement, written into the
4 standard or written into the code that makes that happen.
5 Is there any penalty if I, as a seller, knowing that the
6 customer's condition does not yield a 1.0 -- what stops
7 me from selling that fan? The fan's got -- the fan's in
8 the database; it's got a sticker on it, how do you
9 enforce that that fan is being properly selected? And I
10 believe that is some language that's going to have to be
11 carefully thought through. That's the end of my
12 comments.

13 **MR. BUBLITZ:** Hey John. This is Mark Bublitz. The
14 208 standard specifically says in section one that metric
15 provides standardized and consistent basis to compare fan
16 energy performance across fan types and sizes at a given
17 fan duty point. So the request you're asking for is
18 already in a standard. As soon as you move the duty
19 point, it's not a valid comparison. So I don't know how
20 to do a draft.

21 **MR. BADE:** So well, that -- but that's exactly my
22 point, but that's not in the code language. So the
23 typical person living and working in California is
24 probably not going to go buy AMCA 208 to get that
25 definition. And we've hoped that in the final code, that

1 information is made very clear, plus the further
2 clarification that a comparison of FEI, of two fans at
3 different duty points is not of value. I mean that --
4 sometimes that fan will be actually more efficient or use
5 less energy at that point -- I'm sorry, not more
6 efficient but it would use less energy. And sometimes it
7 won't.

8 **MR. BUBLITZ:** This is Mark Bublitz again. I don't
9 know how to answer the question. It's not the same duty
10 point, so it's not a valid comparison. I'm sorry.
11 Standard doesn't work.

12 **MR. BADE:** You and I are preaching from the same --
13 well, at least from the same hymn book, maybe we're
14 saying it differently, and I'm just asking that that be
15 made very clear in the code.

16 **MR. STARR:** So this is Louis Starr with NEEA. I
17 mean the example we're talking -- so I worked as a design
18 engineer for a number of years and then worked doing
19 controls and then a number of years as a commission
20 agent. If this -- if you had this thing that you showed
21 coming into me I would reject this because one would not
22 be at the design point on the drawing, so then I would
23 just reject the submittal. So the idea that we're
24 sending in different units at different points and that
25 we're going to be comparing. I would look at the

1 drawings and look at the duty points and also look at the
2 FEI on the drawings, and if those things matched up I
3 would look at it and it would be rejected. So this is in
4 case that doesn't exist.

5 I also worked for a large manufacturer, retail, so
6 I'm going to hit all these, because I didn't want to wait
7 20 minutes at the end of the (indiscernible). So I
8 worked for a large manufacturer that made large retail
9 facilities, and every single unit I had, I provided
10 design point, and those took sixty days for me to get a
11 unit out on the job site. There's never a case where I
12 didn't know something, or I'm designing something from a
13 warehouse. Does that exist? Yes, it could, like in a
14 replacement, but most of the stuff that a design drawing
15 is you're working of a design point that (indiscernible)
16 and these are going out as submittals. So these things
17 I'm hearing are a little bit -- yes, they could happen.

18 Near the point about maybe take -- could someone add
19 additional static pressure? So I worked as a design
20 engineer, I'd come up with 1.2 as a static inch in
21 (indiscernible) and CFMs. So I could put 1.3 down so
22 that I would get a bonus or what -- because I get paid by
23 the hour to do the job. There is no reason for me to put
24 a higher static pressure on there. But, could it happen?
25 Yes.

1 But the other thing is I would just look down there
2 and see that break force power is higher than one and
3 know that it's a larger unit, and it's using more energy.
4 So I mean, are those things possible? Yes. But they're
5 not realistic, so I think there's a lot of cases here
6 that sound good but don't actually have it. and then the
7 last thing is about the VFD where one has VFD and one
8 doesn't have a VFD, and maybe Trinity or Armin or the
9 other one can explain.

10 This sounds really great. It doesn't make sense;
11 you've got a VFD. That saves energy, but in the actual
12 AMCA 218 (sic) standard that has allowance in there, so
13 it does not affect the rating, and those would have the
14 exact same rating. Maybe we could have that one
15 dispelled.

16 **MR. BUBLITZ:** That's fine, (Indiscernible). This is
17 Mark Bublitz, I'll take a stab at it. I could use some
18 help from my cohorts. If you put a VFD in and you run it
19 at the same operating point, it's going to be less
20 efficient because the VFD is not a hundred percent
21 efficient. So that's just a fact.

22 The idea behind the standard was to make it energy
23 neutral. So whatever you put in -- whatever loss was in
24 the VFD could be credited back. Now, I don't know if
25 that ever -- did that make it in the standard or was

1 that -- that was not in the standard because the
2 standard's meant to calculate. But our argument was
3 always, you could credit back the energy inefficiency of
4 the drive. But if you don't reduce the duty point, a fan
5 with a VFD will be less efficient.

6 **MR. VOLPICK:** Mark, this is Mike Volpick (ph.) and
7 to add onto that. I don't recall exactly what's in 208.
8 From what I recall, we discussed it but I don't think we
9 put any requirements in but in -- if I recall correctly,
10 Armin helped me out, ASHRAE Addendum ao -- he accounted
11 for that and to avoid the potential of somebody saying
12 hey, if I put a VFD on this thing and FEI goes down,
13 that's a bad thing. We lowered the requirement for a fan
14 with a VFD from 1.0 to .95, if I recall correctly. So we
15 addressed it in the regulatory code language, and I think
16 that's what would probably need to be done here as well.

17 **MR. IVANOVICH:** This is --

18 **MS. PETRILLO-GROH:** (Indiscernible) otherwise we
19 would be comparing to different (indiscernible).

20 **MR. IVANOVICH:** Yeah. This is Michael Ivanovich.
21 So language that John proposed regarding Title 24 is
22 exactly the language that's in Addendum ao and proposed
23 for ASHRAE, 90.1.

24 **MS. PETRILLO-GROH:** It is really well suited for an
25 (indiscernible) for a building standard.

1 **MR. IVANOVICH:** Well, the idea of giving a small
2 credit on FEI to account for a VFD and a VFD system was
3 regarded well in the ASHRAE community, yes.

4 **MR. WAGNER:** Yeah. This is Greg Wagner. If you go
5 back to the previous slide, I think there's
6 misunderstanding about what John was presenting with this
7 slide. Basically unit A and unit B have the same
8 operating point in the field, so they have the same duty
9 in that building. The point here is that one has a
10 better FEI than the other one, and yet one uses more
11 energy than the other one. Yet they're both operating
12 and doing the same function in the field. So the point is
13 that FEI doesn't always give you the best answer, is what
14 he's illustrating here.

15 **MR. TIMOTHY:** All right, John, you're unmuted.

16 **MR. BADE:** Well, Greg, thank you. So that was
17 exactly my point. So I'm going to respond to what Louis
18 said. So my experience working with many, many
19 consulting engineers over the years is very different.
20 So typically in the air handler world, and I'm sure this
21 is true for a lot of others, a sales engineer will work
22 with a consulting engineer, and a consulting engineer
23 will have a company selection software. And yeah, I mean
24 I agree with you that a -- most engineers are going to
25 look at that and say, yeah, I want the one with an 8.44,

1 assuming they have the space for that larger unit -- it
2 is a physically larger unit -- but they're going to say
3 yeah, I want the 8.44. Now I had thought about coming up
4 with an example where I actually made the unit so low
5 pressure drop so I drove it down to below a one and said,
6 I can't use that unit, it's below one, that's a bad
7 thing.

8 The only thing I'm trying to illustrate here is that
9 it needs to be -- users of FEI need to understand that as
10 soon as you get off comparing two fans running at the
11 same airflow and the same pressure, FEI stops telling you
12 whether you are more efficient or not. My fear about
13 using FEI solely in an appliance standard like this is
14 users will come to believe that just like IEER for VRF
15 systems or gas mileage for a car indicates, okay, this
16 one is better than that one -- that FEI can be traded the
17 same way, and that FEI always means lower energy
18 consumption. And I just want to caution the staff with
19 Title 20 to work hard to make sure people do not
20 accidentally believe that.

21 **MR. GALDAMEZ:** Thank you. If you have any data,
22 please submit it to the docket to support the comment.
23 That would be great.

24 **MR. IVANOVICH:** Alex, I have a question. This is
25 Michael Ivanovich from AMCA. Does CEC have an idea of

1 how many -- given the fans that exist in California, how
2 many are covered by Title 24 versus those that are not?
3 Do you have a sense of that?

4 **MR. GALDAMEZ:** I can -- no.

5 **MR. IVANOVICH:** Okay. Thank you.

6 **MR. GALDAMEZ:** Not that I am aware of. I have to --
7 sorry. Yeah. No, not that I'm aware of. I have to
8 investigate that.

9 **MR. IVANOVICH:** So it might be -- it may -- a rough
10 estimate might be a commercial versus industrial split in
11 the market.

12 **MR. GALDAMEZ:** Yeah. We'll have to look at the -- I
13 mean at the numbers --

14 **MR. IVANOVICH:** Okay.

15 **MR. GALDAMEZ:** -- because I don't have -- that data
16 hasn't been provided other than --

17 **MR. IVANOVICH:** Okay.

18 **MR. GALDAMEZ:** And I don't -- what I can gather and
19 get from -- for -- I mean what is submitted in the docket
20 and all that.

21 **MR. IVANOVICH:** Okay. Thank you.

22 **MS. PETRILLO-GROH:** No, that was the last -- that
23 was the end of the presentation. So the -- just my
24 contact.

25 **MR. GALDAMEZ:** You have more? Yeah, go ahead.

1 **MR. TIMOTHY:** Hello. (Indiscernible) staff, do you
2 have a question?

3 Okay. John, you're unmuted.

4 **MR. BADE:** Yeah, I just want to make a real quick
5 point. On the language that I had proposed regarding
6 allowing the .95 for the VRF system or for -- excuse me,
7 not for the VRF system -- for the system that had a
8 variable speed drive on it, that was proposed language to
9 go into Title 20. Somebody mentioned that it was Title
10 24 language. It's not intended to be Title 24; it's --
11 I'm saying put in Title 20. If the system is to be
12 operated as a variable speed system, meeting these
13 requirements in Title 24, then they can have the .95, but
14 it would be Title 20 language. That was all.

15 **MR. GALDAMEZ:** Thank you.

16 **MR. WORTH:** I have two comments. This is Chad with
17 the California IOUs. I guess a couple of things. I just
18 wanted -- on a number of your shipment, the last
19 presentation, I just wanted to say we acknowledge and
20 have dug into many of those, and I think there's a lot of
21 merit to a lot of the shipment assumptions that were put
22 up there. And so we'll be reflecting our thoughts on
23 that in more detail on the docket, but thanks for getting
24 that started. With regards to the selection and what --
25 if folks take a duty point outside of the range or you

1 could tell whatever you wanted to somebody. The
2 distributor --

3 **MR. GALDAMEZ:** You might want to move away from the
4 speaker, you're right under it; it's probably why you're
5 getting the feedback. There you go.

6 **MR. WORTH:** I guess this is very different. And I
7 mean, I'll go to the other speaker. They're everywhere,
8 where am I supposed to go?

9 **MR. GALDAMEZ:** Try in the middle.

10 **MR. WORTH:** It never did that for Louis. Okay.
11 Where was I? This is very different. I mean, I think a
12 lot of us work with a lot of different metrics and a lot
13 of different appliances and things like that. I think
14 there's no doubt that the FEI framework is very unique.
15 It's certainly unique for the CEC, just publishing an
16 allowable operating range and not specifically this fan
17 is legal; this fan is illegal in California.

18 It is a very different -- it's a paradigm shift and
19 it's a -- I think a flexible approach to getting at this
20 energy savings, which is I think why it was put forward
21 to replace FEG. And I think with that, there is going to
22 be some education and a thinking differently within the
23 industry, not just among manufacturers, but downstream to
24 designers and distributors and everything. And I think a
25 lot of that work has begun within ASHRAE and AMCA.

1 So it is going to be challenging, there will be a
2 lot of education to overcome. But it's different, and
3 it's unique and it does provide a lot more flexibility
4 than saying this fan is illegal; this fan is not. People
5 can lie about their flow or their CFM and -- or their
6 pressure and get a different fan if they want, but it is
7 about putting the information out there and overall
8 moving towards better fan selections, not better fans.

9 **MR. STARR:** So this is Louis with NEEA. Just one
10 thing I would -- just to add onto what Chad said there.
11 When a design engineer sits down and selects a flow and
12 pressure on there, they have liability insurance and so
13 they're not designing to get efficiency necessarily.
14 They're first to make sure it actually does the job it's
15 supposed to do, and efficiency comes second. So drawings
16 coming out here in California get a -- an engineer gets
17 stamped on the drawings, got four years of experience and
18 at least two years of designing, and then he has to pass
19 the licensing test and this is not going to be -- if they
20 can't handle this, they shouldn't be doing engineering.

21 So I do have a couple a couple questions for Laura
22 and maybe -- and you know what? I'm not trying to be --
23 I'm trying to move the conversation forward. But maybe
24 you can help me, Laura, with two questions I had. One,
25 based upon what AHRI is kind of putting up there, is

1 there anything that you think should be -- any of the
2 equipment should be regulated based -- should have a fan
3 regulation on it? One like, for instance, I'm thinking
4 are air handlers still in the wheelhouse of something
5 that would be regulated or not? I'm not really clear on
6 that?

7 And then the second question I have about Title 20
8 and Title 24, fighting it out at the O.K. Corral -- is it
9 very -- probably this -- and I don't want to be -- I know
10 this is a hypothetical, so I know everybody hates
11 hypotheticals but, if DOE had passed this fan
12 regulation -- this issue of there being a fan regulation
13 on federal equipment, and then Title 24 having an IEER
14 requirement would be an issue, and I'm kind of wondering
15 how that would have resolved itself. I mean in other
16 words, right, there's a fan, if DOE said hey, we're going
17 to regulate fans then exactly what you're worried about
18 would happen, where you have double regulation in
19 California, because there'd be a federal regulation or
20 FEI on the fan and then you have an IEER. So how would
21 you feel AHRI would have handled that? Do you get what
22 I'm saying?

23 Okay. So if FEI had passed the DOE, it requires FEI
24 and (indiscernible). Okay, so right now, Title 24 has a
25 requirement on a greater than 760,000 that you have an

1 IEER of what? Eleven or something? So I'm just
2 wondering basically how that would have worked itself
3 out. So that was a realistic (indiscernible)

4 **MS. PETRILLO-GROH:** Sure. So --

5 **MR. GALDAMEZ:** (Indiscernible) do you have --

6 **MR. LESSANS:** Well, no. I raised my hand before in
7 case Laura was having -- Laura didn't understand the
8 question at first. But I can -- why don't you go ahead
9 and answer it, and I can help, I can add to that if
10 necessary.

11 **MS. PETRILLO-GROH:** So okay. And I didn't write it
12 down. So the first question is on air handler. I think
13 that metric for -- metric has significant problems when
14 you look at it in embedded products. I think it's
15 illegal for California to try to regulate any fan in any
16 regulated product. I don't think it's illegal for them
17 to go -- for going after fans that are embedded in air
18 handling units, central station air handling units for --
19 let's just say that. However, there are design problems,
20 that it doesn't make a good metric for that equipment.

21 **MR. STARR:** (Indiscernible)

22 **MS. PETRILLO-GROH:** Right.

23 **MR. STARR:** (Indiscernible).

24 **MS. PETRILLO-GROH:** And so if a fan -- an FEI
25 regulation had passed federally and California -- but

1 there's no federal regulation for unitary equipment over
2 750,000 BTUs, but there's regulation on California, how
3 would we have handled it? I mean grumpily. I mean --
4 not -- I couldn't fight that on a legal battle. I mean,
5 that's not federally regulated double counting of energy
6 savings, which is a problem. When California went to
7 maybe increasing the levels of IEER for those products
8 for those, we would have pointed out I think where you
9 would have gotten energy savings in the miniscule amounts
10 from the release fans. But we would have also had a
11 problem with what you're looking at for (indiscernible).

12 **MR. STARR:** I guess the question is -- the point I
13 would say to that, the fact that it's federally regulated
14 or state regulated, it could just have a Title 24
15 requirement I guess is the takeaway I get from that.

16 **MS. PETRILLO-GROH:** If there is -- I mean I don't
17 know exactly where we go down the road with it, but --

18 **MR. STARR:** You wouldn't have the double regulations
19 that (indiscernible) wouldn't have liked it, right,
20 (indiscernible).

21 **MR. LESSANS:** Do you want me to --

22 **MS. PETRILLO-GROH:** Who (indiscernible).

23 **MR. LESSANS:** Maybe I'll just add. This is Mark
24 Lessans of Ingersoll Rand. I've got a mic here. You're
25 right. DOE was going down that path, and maybe just to

1 provide some context here, Ingersoll Rand Trane was the
2 other party that did not sign that ASRAC term sheet
3 because we had some enormous issues with the way that
4 embedded fans were being treated most notably for unitary
5 large equipment that's larger than 760,000 BTU. What was
6 in that term sheet -- maybe I shouldn't say this -- that
7 had us freaking out, because we were looking at
8 potentially redesigning all of those products to save
9 probably no energy whatsoever. So yes, it could have
10 happened and it would have been a real problem for us.

11 I mean I don't have a better way to answer that.
12 Perhaps I was going to say that DOE did not publish a
13 proposed regulation. They had a term sheet that was --
14 that had unanimous support but it -- if you want to read
15 between the tea leaves, it seemed pretty apparent that
16 they were having a difficult time taking that and turning
17 it into a useable regulation. And I want to believe that
18 the continued commentary that we gave him -- gave them on
19 the third NODA and on -- in our continued attempts to get
20 the same methods that I presented on today across to
21 them, there was potentially a real possibility, maybe
22 they even realized it, of the mismatch between the energy
23 savings that they thought they were going to get and the
24 actual energy savings a lot of these products that
25 already are designed today to meet a certain IEER.

1 **MR. STARR:** So we -- this was a question for
2 actually Jeff --

3 **MR. GALDAMEZ:** Yeah. So we're in the part of
4 discussion, so any comments right now are accepted as
5 comments. So that we're done with the presentation, just
6 letting everybody know, even the people online, so.

7 **MR. STARR:** So about two hours ago, Jeff presented
8 on presented on his boiler and his thing, and I -- just
9 more to move the ball down the field for Jeff. So one of
10 the things he's presenting on is he has a picture of a
11 really efficient boiler, and I talked to him a little bit
12 during the break, and he said basically if we pick the
13 system curve that has the most efficiency is kind of --
14 it's very parabolic looking and really what the kind of
15 fan curve I need is more of a kind of flat one, which is
16 typically more characteristic of an inefficient curve
17 that dials up the curve.

18 And so his point was that's the kind of fan we need,
19 sort of inefficient to make our equipment work properly.
20 And so one of the thoughts I had was would it potentially
21 be better -- first of all we'd have to look at his
22 information a little more on that, but perhaps he could
23 have a limit on the size -- a one horsepower rating. He
24 could basically have -- there's a correlation between the
25 size of the boiler itself and the size of the combustion

1 fan. And I think if you put a limitation at, like,
2 greater than 600,000 and you're exempt as opposed to
3 exempting everything that's in boiler.

4 So I thought that was one regulation or one way to
5 get around kind of your concern. And then another thing
6 is just looking at peak efficiency of the fan, and maybe
7 doing something with that. So I don't know if you had
8 any thoughts on that, but I know it's been quite a while.

9 **MR. KLEISS:** Jeff Kleiss of Lochinvar. So Louis, I
10 don't think I agree with you on necessarily us needing a
11 less efficient fan or a flatter curve. If anything, a
12 speed fan curve actually helps us because we're dealing
13 with very high differential pressures. We still have
14 high flow rates, but the higher efficiency heat
15 exchangers have very high resistance to air flow, which
16 causes very high differential pressures and can push us
17 to the left of the allowable FEI range.

18 **MR. STARR:** Yeah. Actually, I misstated that. What
19 I meant by flatter was essentially the thing you're
20 talking about. It's the shape of the curve is more
21 steeper and flatter also shifting down the curve. So
22 yeah, again it's just ore as you're striving --

23 **MR. KLEISS:** Right. And I don't want to get hung up
24 on the specifics because what we're looking at is -- I
25 pulled together a few data points on one model as an

1 example. But ultimately, you're going to put handcuffs
2 on us as far as developing products, not just this one
3 that we're looking at but also future products. Over
4 potential energy savings, it's a rounding error, or are
5 already regulated efficiency matters.

6 **MR. STARR:** So I mean I guess my thought on that is
7 first of all, basically it's the covers went more complex
8 so if you're (indiscernible) less fan and you're not
9 having to worry about meeting those requirements. So
10 that's why I (indiscernible) that. But I don't think you
11 can be handcuffed in that sense. But the problem is, is
12 that when you have a very efficient product, and you're
13 (indiscernible) motors and doing some things in there
14 that obviously they're looking for efficiency -- not
15 everybody in the market is doing that. So you don't want
16 to just design your regulations around the most efficient
17 guy in the marketplace. You have to get the CEC thinking
18 about and everybody says well -- I mean, your argument
19 that well, (indiscernible) my product, but when you take
20 that across the full marketplace, everybody puts a little
21 bit of energy in my (indiscernible) have to be uniform is
22 your treatment of things. So it's -- that's the sort
23 of -- that's why the CEC is trying to design a regulation
24 that sort of makes sense while doing the efficient thing.
25 So -- but I don't necessarily -- that's just a thought,

1 so --

2 **MR. KLEISS:** Just -- all I'd ask is that you don't
3 lose sight of the fact that the scale of the energy that
4 we're using versus the energy in the fan, and there are
5 definitely some potential loss -- a lot more to be lost
6 by this than gained.

7 **MR. WAGNER:** This is Greg Wagner. To turn that
8 around, it's basically ninety-six or ninety-eight percent
9 efficient. So if I dropped it down to ninety-seven and I
10 lose a bunch of restriction for the fan, now I bring the
11 fan in scope but now I'm down a ninety-seven percent
12 efficient boiler. I'm saving a little bit of watts in
13 that power, but I'm losing tons of BTUs in the heating
14 side. So that's the point of the scale of the energy
15 use, is what it does is now it takes and compromises the
16 design of the appliance -- not necessarily helping energy
17 use, it's actually increasing energy use to reduce that
18 pressure requirement let's say, on that fan system.

19 **MR. STARR:** Let me paint you an alternative picture.
20 Let's say an eighty percent furnace and I want to put the
21 absolute cheapest thing I can on the market. So I buy
22 the cheapest fan I could find, the most inefficient fan,
23 and then you bring out your efficient fan, you get to
24 compete with me, and a lot of jobs are going to go that
25 way. So at least by people making a bare level of

1 efficiency such that it doesn't create -- I mean, so Jeff
2 has painted a picture where he has a very efficient
3 product. But I would also think about painting the
4 picture I just did, where you have someone that really is
5 just trying to use the cheapest piece of thing that is
6 available. And so that's what you also have to think
7 about in terms of regulation. It's not just what you
8 sell but what other people --

9 **MR. ROY:** Louis, Aniruddh Roy with Goodman. So on
10 the furnace side, that should not be an issue because in
11 Title 24 now you have the watts of CFM per .45, plus the
12 DOE regulation which is the FER -- furnace fan will be
13 going into effect on July 3rd of 2019. So I think we
14 should be covered on that front.

15 **MR. LESSANS:** Mark Lessans, Ingersoll Rand. Maybe
16 just to build on that point. I agree with you, Louis, in
17 the fact that I would certainly be concerned if we were
18 creating some kind of loophole to allow other OEM's to
19 put the cheapest thing out there as possible. That would
20 just be an energy hog. I can say with great confidence
21 though, at least as it applies to our products, that that
22 is just not an issue because a majority of those fans are
23 captured by the way that those products are certified to
24 their energy performance today. And the way that they
25 are priced are based on that IEER rating.

1 So for commercial unitary, that's not an issue. For
2 air compressors on our Ingersoll Rand products, that's
3 the same exact issue. So yeah, our competitors could put
4 a horrible fan in there, but it's going to cost them in
5 other places and that's where -- at least where a company
6 like ours would pride ourselves on is our ability to be
7 as innovative as possible to get to that highest
8 performing product at its system or product efficiency
9 and figure out from an engineering perspective the best
10 way to get there to serve our customers.

11 **MR. STARR:** So a couple things. One of the
12 things -- maybe Mark, you can address this, but so the
13 IEER metric is another thing that I have a lot of concern
14 for me because I look currently, and I know in our 90 --
15 or in our ASRAC of RTUs that we talked about revisiting
16 that test procedure. But today, the test procedure we
17 have is one that helps for very little fan energy use.
18 It uses a very low static pressure. It doesn't have the
19 economizer mode. Some of those things that you talked
20 about in the energy model, those aren't accounted for.
21 And so we're trying to drive efficiency where the very
22 inefficient metric -- the next time we will actually be
23 able to get to that thing on like the five and half to
24 sixty-three tons, 2027. And so I'm not all that familiar
25 with California energy goals, but I'm pretty sure they're

1 2030 which means that the best you could hope for is that
2 you had a really good test procedure by 2030, so part of
3 the problem is the time frame to actually get this stuff
4 carried out is very integrated. And the other thing is
5 hardly modified -- I hear that there's work on the IEER,
6 but I was talking with Mary who is with PG&E and Marshall
7 (ph.) was with ASRAC on that. And I'm in the northwest,
8 and between us, we have twenty percent of the customers
9 in the United States, or somewhere around twenty
10 percent -- anyway, a certain percentage of -- a fairly
11 good chunk and we haven't really heard about anything
12 about revisiting the test metric, and we certainly have
13 access to lots of data. So to sum that up I'll just say
14 I have concerns about using IEER as our way forward when
15 it seems like an imperfect metric. To me, we're behind
16 the time on changing that metric. So it's like, I get
17 the whole policy overview that yes, we want to
18 (indiscernible). I don't know, is there anything you can
19 help me with on that?

20 **MR. LESSANS:** So there's a couple points that I
21 probably need to address. Let me try to lay this out --
22 and Mark Lessans of Ingersoll Rand. There are others in
23 the room that can speak to the revisions to 34360 better
24 than I can, but I can tell you that based on the
25 discussions that I've had with our engineers that

1 participate on the development on that standard, it is
2 very much in the process of being revised. The -- right
3 now -- you guys have not heard anything about it, but the
4 intention has been to include you. Right now, the --
5 basically the AHRI section that's responsible for
6 updating that standard just finished up making the
7 necessary changes in order to align that standard with
8 the DOE test procedures for 2018. So that required some
9 substantial work, and they just finished that up.
10 They're now in the process of going through and revising
11 the -- all of 34360 in order -- as part of that
12 negotiated rule-making. That term sheet that came out of
13 the unitary air conditioner standard. So you'll have to
14 trust me that that will get updated and that you will be
15 included in that process. But it's -- I don't have
16 anything tangible that I can present right now. I don't
17 know if anybody else in the room can.

18 A couple other, I guess, points that I want to make.
19 First of all, there's a difference I suppose between the
20 energy model that we're looking at and the amount of
21 energy savings that are available from regulating these
22 fans and IEER. I can tell you that the analysis that I
23 presented was not based on IEER; that was based on the
24 same operation out of that energy model and the
25 expectations of how that rooftop unit if going to run in

1 that climate for that building based on the expected
2 cooling and ventilation needs. It used an IEER rating
3 for the cooling operation based on the test procedure,
4 but it's not like it ignored the energy from when it was
5 operating in ventilation or economizing mode. So that --
6 at least with the way that we've been trying to present
7 the potential savings opportunity or lack thereof, I
8 suppose, that took into account the expectations that we
9 have based on a design building and application, not
10 based on an IEER metric.

11 What was the last -- there was one more point
12 that -- well lastly with IEER, I think being an imperfect
13 metric -- I think, I guess, back to what I was saying
14 before, it's in the process of being revised but it is --
15 the best thing that we have right now, and really in our
16 opinion -- I recognize that every climate zone is
17 different, and in the Pacific Northwest you are going to
18 have more ventilation hours than you will cooling hours,
19 but right now what we have is an attempt to be as
20 representative as possible for the entire country, and
21 IEER is what we have.

22 We'll continue to try to improve that metric to
23 capture as much of that energy as possible, but I'd like
24 to think that that's still a much more effective way to
25 demonstrate the actual overall energy consumption of a

1 rooftop unit than to try to look at the fan operating
2 outside of that box and make some assumptions and then
3 try to regulate and squeeze some of that additional
4 energy savings out of it.

5 Based on the way that -- certainly the way Trane
6 designs products, and we optimize around IEER and then
7 base price points for those products based on that IEER.
8 We will always, no matter what, revert back to that
9 system or that product level efficiency metric. So if
10 you require us to put a more efficient fan in there, all
11 that's going to do -- if we have to redesign the product,
12 which in almost all cases it will because it will -- that
13 fan will get larger, and there's no space for it in our
14 current design. It will -- it's going to force us to
15 rethink, not just the fan itself, but the entire
16 refrigeration system that's contained inside of that box.
17 And when we have to do that we're going to go back to,
18 okay, this is going to be for a minimum efficient unit.
19 This is what we need to price it at and this is what it's
20 going to look like going forward.

21 And I'm sorry, lastly, the last point that you made
22 about the DOE standards in 2023 and the future savings
23 opportunity there. One thing that -- one observation
24 there is that the fans that are embedded in those -- in
25 those products that we're talking about, the majority of

1 the energy consumption of those fans is already captured
2 by that DOE standard. What California is proposing to do
3 is exempt all but the relief fans from that regulation
4 already. So we're talking about the next opportunity to
5 direct the energy consumption of the fans being 2027, but
6 this proposed standard doesn't even get at those fans,
7 except for, the only thing that it gets at is the relief
8 fan.

9 **MS. PETRILLO-GROH:** This is Laura Petrillo-Groh from
10 AHRI. Just to quickly give an update on 34360, DOE has
11 had a version to look at mid-April or the end of April
12 probably. And now the committee is starting -- we're
13 waiting on feedback. The committee is now starting to
14 look at standard pressures associated with field
15 conditions for those products and energy advocates have
16 previously mentioned, that they think that the set of
17 pressures are too low on that standard, so we're looking
18 at going through those models and requesting field
19 information on that. So there is work in progress. I
20 know that you don't see it, but calm waters run deep in
21 the system. That was just the AHRI update.

22 **MR. STARR:** (Indiscernible) with me, yeah. One of
23 the things is, like -- I think Mark was saying well, it's
24 already lot of the energy you're trying to get to capture
25 in Title 24, the IEER if greater than 750,000, so greater

1 than twenty tons, or is that sixty-three? Okay. But the
2 problem is, is that we'd argued that the metric is -- has
3 so little fan (indiscernible) the statics and all that
4 in, is it's not really going to do a good job with it.
5 And to my mind -- let's just take for instance -- let's
6 say the energy that you use in a hard to use half fan and
7 half compressor -- it seems to me the best thing is to
8 optimize both of those. And so I mean, the example you
9 put is like well, the box stays the same size, and then
10 I -- and I have to put in a bigger fan, which means then
11 I have to take costs and make things smaller and other
12 things to make things fit. But at the same time, first
13 of all, not every unit has to have six casing size,
14 right.

15 So in other words, some of them you're just going to
16 be able to put in a bigger fan, and it's fine, and a lot
17 of times design engineers will specify bigger casings for
18 other reasons. And so to me, some of it's the ability to
19 size the casing up already exists in some of this. And
20 the other thing is we heard John Bade this morning --
21 earlier talking about what (indiscernible) fans have FEI
22 of one, which tells me that some of these fans have a
23 pretty good FEI. So it's like we don't really -- I guess
24 what would be helpful is understanding maybe what some of
25 the products -- the concerns you have, what are those

1 FEI -- I mean obviously not to me, but maybe the
2 California Energy Commission is taking a look at what
3 those current FEIs are and giving a line of products and
4 seeing how that -- is it impossible to meet FEI three and
5 what would you have to do and how close are you to
6 meeting it? But to me, it seems like that's a path
7 forward, but it's just pretty hard to know that the first
8 time that we just crack -- let's just say -- and 34360
9 gets that all figured out pretty soon. The first time
10 we'd really be able to see a regulation that captured all
11 that would be 2027, and that's going to be hard for the
12 goal that California has as their 2030 goal of whatever.
13 It seems problematic (indiscernible).

14 The other problem is the IEER metric is the basis
15 for a lot of other test procedures across a lot of the
16 equipment in DOE, so it's not just this one, but
17 everything seems to be -- the coefficients that were
18 chosen for the IEER are across the eight climate zones,
19 averaged there. It's not a seasonal, or it's not a
20 regional efficiency or anything like that. So it's
21 like -- it's really hard for somebody like California to
22 take an efficiency and -- or an IEER metric and get some
23 value out of it. That's my concern.

24 **MR. LESSANS:** (Indiscernible).

25 **MR. STARR:** Yeah. (Indiscernible) talk about it.

1 **MR. SHEEHAN:** All right. Darren Sheehan from
2 Daikin. So I just want to comment that like some other
3 people have said previously -- I mean, at our company, we
4 are looking for innovation and trying to sell certainly
5 higher than minimum efficiency on a range of products for
6 customers. But just want to make a comment on taking an
7 IEER metric, and in particular for rooftops and the next
8 time that that could be looked at in tracing would be in
9 2027. Just want to make sure that people have a little
10 bit of background and look at this holistically as all
11 these things work together. All right?

12 So in January 1st of '18, right, seven months ago
13 now, it was the most recent regulation change for six
14 tons and up. That was a negotiated rule-making. It
15 switched from EER to IEER, right? So maybe things never
16 moved fast enough for any of us, right? But that's a big
17 improvement.

18 We know were 2023 is. Again some people might have
19 wanted those levels in earlier. But that's set there,
20 and someone is going to have to jump in and correct me
21 because this might be wrong, but I remember in looking
22 that from DOE, I think they proposed that that was the
23 single largest energy savings of a regulation. Is that
24 true or right?

25 So I just want to make sure we have this right

1 balance, right -- of in five years implementing that to
2 not -- just saying we have to wait until '27 to jump,
3 right? We're actively looking at a metric that includes
4 economizer and fans and everything else, right? And
5 we're not against moving. We just want to make sure
6 we're moving forward correctly.

7 One last comment I'll make is kind of a background
8 too. We all have different kinds of equipment that are
9 here. Packaged units though -- just keep in your mind,
10 it is a combination of the most amount of regulations,
11 right? It's got furnace in it, right? It has
12 refrigerant. It has your air handler, right? Your
13 supply fan, release, exhaust, right? So sometimes when
14 we think how would the fan affect that or even a
15 commercial furnace, we'll know there's no other rule
16 makings. We'll know we just redesigned packaged units.
17 Now we have to do a commercial fan for that unit; that's
18 kind of a background to keep in mind.

19 So again, yeah, not against moving forward, just
20 need to make sure that we kind of have a holistic thing,
21 and we're moving the industry and what can be done
22 forward appropriately.

23 **MR. WOLF:** This is Mike Wolf from Greenheck. I just
24 wanted to kind of tag onto that. We started this process
25 back with DOE five or some years ago. I think in the

1 opening meeting, we had the same issue come up, and to
2 your point, some things don't move fast enough for some;
3 some it moves too fast. But I think we'd all be making a
4 mistake and doing a disservice and manipulating the
5 process, honestly, if we're trying to use this rule-
6 making to fix the problem with another rule-making, or
7 trying to move something forward faster because we think
8 it's not moving fast enough, because it's flawed or
9 because there's improvements that need to be made. If
10 there's problems or improvements that need to be made,
11 with an IEER or whatever these other things are that I'm
12 not familiar with, we should fix those.

13 Okay, let's not bastardize what we're trying to do
14 here or prevent this from moving forward because of that.
15 That's my first opinion on that. Second of all, and I
16 kind of want to shift here, and Alex, I'm looking at
17 Table ES-2 of the staff report. And another issue that
18 we seem to kind of kick around, but we never really are
19 able to pin it down -- I feel like it's trying to pin
20 Jell-O to a wall here -- is we talked about the potential
21 embedded fan savings in this table ES-2. And there had
22 been a couple presentations today that have said, well,
23 look, you can't just look at the fan savings; you got to
24 look at the overall energy savings of the equipment. And
25 at least, I think two examples, if I remember the

1 Lochinvar and the Ingersoll Rand showed examples of okay,
2 we can squeeze a little bit of energy savings out of the
3 fan and make this -- these fans and this embedded in this
4 equipment comply, but at the end of the day we're not
5 going to save any energy. And I guess my question is,
6 how can we get to the bottom of that? What would CEC
7 need from the industry to really nail that down? Because
8 I believe everyone wants to save energy, and if we're not
9 looking at this analysis correctly, and we're only
10 focusing on the fan energy, and we're going to end up
11 using more energy, I don't think any of us want that.
12 But I don't know how to get the answer to that question.
13 So I don't know if you can --

14 **MR. GALDAMEZ:** (Indiscernible) that you mentioned,
15 and an analysis of what the differential will be if we
16 just do the fans only comparison to the total energy of
17 the units that are going to be affected. So the units of
18 760 and above BTUs, maybe we need to implement a new
19 regulation for those units only, right, and take out the
20 fans, embedded fans for those type of units only, right?
21 But none of that data has been presented so far that I
22 can tabulate and further support the argument to take out
23 the embedded fans. So I need more data analyzed and that
24 supports the argument to take out the fans. Right now,
25 the data that I have and what I have analyzed, it shows

1 savings. And because I have to do a cost analysis that
2 is cost effective and is technically feasible, they both
3 apply and therefore we should move forward on this rule.

4 Now I understand that it's not the right thing for
5 embedded fans. I understand that there's a lot of issues
6 in the past that happened in the ASRAC and the DOE and
7 all that. But that is the past; that is done. And right
8 now I'm presenting the staff report that is -- yes, it
9 has assumptions and it has a lot of information that was
10 taken from DOE, okay? But the calculations, the numbers
11 and everything is California specific, right? If the
12 shipments are wrong, we're going to fix that. But I need
13 data. I need arguments that can be supported with data.
14 I cannot go in front of the commissioner and say, we
15 going to take embedded fans out because Ingersoll Rand
16 said so. Why not? It doesn't work that way, right?

17 **MR. ERNST:** So as far as the question, packages has
18 been, an example that's been talked about a lot, this is
19 Skip Ernst from Daikin. The -- how would you -- I mean,
20 there is no data to support one of our contentions
21 because it's the logic if -- on a product that is already
22 regulated by California to have a total unit
23 efficiency ---

24 **MR. GALDAMEZ:** From what I understand Title 24
25 regulatory is for buildings, right, and in the units,

1 they specify the EER they have to comply. Correct?

2 **MR. ERNST:** IEER.

3 **MR. GALDAMEZ:** Right. So there's a table set for
4 that. However, is fan efficiency part of that test?

5 **MR. ERNST:** Yes.

6 **MR. GALDAMEZ:** It is? So that argument is what you
7 guys need to present to me. And how is it done? How is
8 the test done? None of that has come up to my table for
9 me to say, like, okay, well, you guys have a point here.
10 Let me verify it. Let me make calculations again and run
11 it over like that, right?

12 **MR. LESSANS:** So --

13 **MR. GALDAMEZ:** Those are the things that I need.

14 **MR. LESSANS:** So Mark Lessans of Ingersoll Rand. I
15 need we need a little bit of help because I feel like
16 we've explained that. And so we need some help whether
17 that's modeling and analysis or something that's going to
18 be believable. The other issues that we have though, is
19 that we're -- if you don't believe that IEER is an
20 accurate metric for the energy consumption of that
21 product then there's -- I suppose there's nothing I can
22 do to demonstrate. If that's not --

23 **MR. GALDAMEZ:** I'm not saying that. I am not saying
24 that at all.

25 **MR. LESSANS:** Okay.

1 **MR. GALDAMEZ:** Okay? I'm not saying that at all.
2 But I mean the calculations that you guys need to present
3 to me have to support your argument. Like when you --
4 like for example, this is for example, okay. You guys
5 brought up the cost -- how much is it to increase a
6 unitary unit, right. It'll be so many dollars per ton,
7 okay. Based on what?

8 **MR. LESSANS:** Yeah. So again, we're happy to delve
9 into that analysis further under an NDA. When we
10 presented that to you the last time around -- if I
11 recall, we were told that we could not have -- we could
12 not get an ND -- we could not get some kind of
13 nondisclosure agreement. So once we get that in place,
14 we can show you much more -- with much more detail. But
15 at some level you're going to have -- I mean unless you'd
16 like to come to Clarksville where these products are
17 made, you're going to have to believe us with some of the
18 things that we're telling you as far as how much it costs
19 and what the energy savings are in order to get to that
20 point.

21 **MR. GALDAMEZ:** It's not a matter of me believing.
22 It's the matter that I can make the argument to support
23 it.

24 **MR. LESSANS:** Okay. Yeah. So --

25 **MR. GALDAMEZ:** And that's basically what it is. I

1 believe what you're saying. It's just I need to support
2 it. So when I grab that cost and I put it in -- where
3 did you get that cost from? Oh, well, it's a cost that
4 came from Ingersoll Rand, so --

5 **MR. LESSANS:** Well anything that we can give you is
6 solely going to come from Ingersoll Rand. I get that.

7 **MR. GALDAMEZ:** So what I'm saying is like we have
8 meetings one-on-one. we can discuss the issue and maybe
9 talk about this so that I can understand where the costs
10 are coming from, right?

11 **MR. LESSANS:** Okay.

12 **MR. GALDAMEZ:** That is all.

13 **MR. LESSANS:** Yeah. We're -- I --

14 **MR. GALDAMEZ:** And I'm willing to work with you
15 guys, but the thing is I need to really support the
16 argument to -- if we need to move into a direction in
17 which we take it into our units, and we create a new
18 ruling for that, then we'll go that way. Right?

19 **MR. LESSANS:** Exactly.

20 **MR. GALDAMEZ:** Take it out, take all the passages
21 for those separate unit. Now I haven't seen anything for
22 air chillers and I haven't seen anything for air handlers
23 that will prohibit me from moving forward and including
24 those in the regulations because those units are
25 manufactured taking the (indiscernible) off hand, quote

1 unquote.

2 **MR. LESSANS:** So I appreciate the feedback. We will
3 certainly -- I'm more than willing to talk to you in as
4 much detail as you're willing to listen to me on what the
5 issues are, but the issues today have been that we've
6 been operating under the assumption that anything that we
7 tell you could become part of the public record. And
8 we're starting to delve in territory that we can't --

9 **MR. GALDAMEZ:** Well, I have to -- always, I'm going
10 to check the legal (indiscernible) on that.

11 **MR. LESSANS:** Okay.

12 **MR. GALDAMEZ:** But I understand it is -- I, you
13 know, if it's (indiscernible) online, I don't see
14 (indiscernible).

15 **MR. LESSANS:** Okay.

16 **MR. GALDAMEZ:** I'll do my due diligence to let you
17 know, how can we go about it so that -- well, what kind
18 of information that won't show your competitors the
19 information that you don't want it to show, right? How
20 about you submit it so that I'll at least have something
21 to work with?

22 **MR. LESSANS:** Okay. Yeah --

23 **MR. GALDAMEZ:** Not the details, right? But
24 something to work with so that I can, like, support that.

25 **MR. LESSANS:** I appreciate that. We will come up

1 with a way to get you the information that you need in
2 order to complete that analysis. We're just -- I think
3 to date we've kind of gotten to a point where we feel
4 like we've given you everything that we can with -- that
5 wouldn't -- that we would be comfortable with. I mean,
6 we're not even really that comfortable telling our
7 competitors this is going to cost 246 dollars a cooling
8 ton, but, you know, we already did. So --

9 **MR. GALDAMEZ:** I need to run those numbers, but like
10 I said, I know it can be explained where -- you know, it
11 doesn't have to be a detailed bill, you know, this is
12 why. But it's close enough so that I can explain, well,
13 this comes from (indiscernible), this percentage in
14 engineering or this percentage in material, and just
15 percentages, right? Just percentage --

16 **MR. LESSANS:** We can -- under an NDA we can
17 certainly break that down for you --

18 **MR. GALDAMEZ:** You know, and then --

19 **MR. LESSANS:** -- yeah.

20 **MR. GALDAMEZ:** And then phrase it that way so that
21 I -- okay, well, this made sense -- but that it's
22 included. I mean, I want to include the numbers
23 (indiscernible) this one because when I received the
24 information it was delayed. In my analysis -- I had
25 already completed my analysis, right? Not that you guys

1 were delaying. I'm just saying the analysis that I had
2 was already with the numbers I had from you, correct?

3 **MR. LESSANS:** Okay.

4 **MR. GALDAMEZ:** So --

5 **MR. LESSANS:** Yep.

6 **MR. GALDAMEZ:** -- I'm going to take those numbers
7 and use them for the new analysis that is going forward,
8 but I do need that supporting information.

9 **MR. GALDAMEZ:** Okay. Thank you.

10 **MR. WOLF:** I just want to follow up. Mike Wolf with
11 Greenheck. So with regard to this NDA issue, would it be
12 helpful or provide more cover if manufactures were to
13 kind of, I don't know how to say it, cool their data
14 through AHRI or some other, kind of, independent agency
15 so that it wasn't just me coming to you with my Greenheck
16 stuff and Mark coming to you with Ingersoll Rand stuff?
17 We have a central collection --

18 **MR. GALDAMEZ:** Yes.

19 **MR. WOLF:** -- data set, that's --

20 **MR. GALDAMEZ:** Yes. Basically, yes. I mean that --
21 yeah. If you had things work an NDA through --

22 **MR. WOLF:** -- some law.

23 **MR. GALDAMEZ:** -- that you're working under or that
24 can send you that, that's even better. Because then you
25 guys can submit to me a summarized --

1 **MS. PETRILLO-GROH:** Laura from AHRI. This will
2 make answering particularly difficult for our association
3 because of the vast number of products that it touches.
4 You know, twenty different products that are -- thirty-
5 nine that we represent could -- we don't -- at some
6 point, they're potentially impacted by this.

7 We have polled manufacturers and provided this
8 information to the Department of Energy and consulted
9 with you, but have repeatedly received the feedback that
10 the percentages that we are providing -- for example,
11 that we provided in our proposal, are not detailed
12 enough, which I'm getting that feedback because it was
13 not --

14 **MR. GALDAMEZ:** Can you give me an example,
15 specifically of which one? Like, which one -- what
16 percentage are --

17 **MS. PETRILLO-GROH:** I think the percentage of
18 exhaust or really stands in unitary equipment versus
19 supply in the energy --

20 **MR. GALDAMEZ:** Do you -- do you have any of that
21 information or was it in the DOE --

22 **MS. PETRILLO-GROH:** Our presentation that we made in
23 November to CEC, which was taken from our proposal that
24 we submitted in October. So there has been a lot of
25 information that we presented that has not been

1 account -- that has not been taken into account into
2 analysis, which is, I think, part of the frustration.
3 And I want to make sure that if, you know, I'm putting
4 all of our members through an exercise to collect data
5 that it ends up being disaggregated enough where -- you
6 know, for you to be able to justify using it.

7 **MR. GALDAMEZ:** Yeah, and I'll work with you on
8 just -- (indiscernible) for sure. I mean, I -- I -- like
9 I said, the numbers on some information had been -- was
10 received after I completed my analysis, but I need to
11 reanalyze for some additional information that you guys
12 provided me.

13 **MS. PETRILLO-GROH:** Wait. That was provided back in
14 October.

15 **MR. GALDAMEZ:** Yeah, but I completed my analysis
16 before that, right? So I need to move this project
17 forward and this (indiscernible), in other words get the
18 ball rolling or this -- that's like --

19 **MS. PETRILLO-GROH:** So what --

20 **MR. GALDAMEZ:** This is -- this is that --

21 **MS. PETRILLO-GROH:** I'm -- let me just get this
22 straight.

23 **MR. GALDAMEZ:** (Indiscernible).

24 **MS. PETRILLO-GROH:** Let me just get this straight
25 from, you know -- stakeholders were asked to put together

1 proposals on what a fan circulation would look like in
2 the State of California. That was submitted back in
3 October of 2017. At the point, the staff report had
4 already been written and -- and to the point where --

5 **MR. GALDAMEZ:** (Indiscernible) proposal that you
6 submitted had those numbers I used were comparable to the
7 ones that were submitted for the proposal. I mean, there
8 was no change for the calculations when I compared them.
9 You're talking about your submittal?

10 **MS. PETRILLO-GROH:** Yeah.

11 **MR. GALDAMEZ:** Those numbers were just -- when I run
12 the numbers, they were just a blob of different type of
13 fans and they came out almost with the same energy
14 savings when I did the calculations. So I probably need
15 to work with you and to, like, really understand what you
16 submitted, because when I ran the numbers based on
17 what -- the numbers you provided, the savings were still
18 there.

19 **MS. PETRILLO-GROH:** I think I --

20 **MR. GALDAMEZ:** Really big savings from that fan.

21 **MS. PETRILLO-GROH:** We saw pretty substantial
22 differences --

23 **MR. GALDAMEZ:** It was --

24 **MS. PETRILLO-GROH:** -- when we --

25 **MR. GALDAMEZ:** -- lower that we calculated, but it

1 was still substantial savings to California.

2 **MS. PETRILLO-GROH:** I -- I'd be happy to follow up
3 with you --

4 **MR. GALDAMEZ:** So --

5 **MS. PETRILLO-GROH:** -- on what it was --

6 **MR. GALDAMEZ:** Okay.

7 **MS. PETRILLO-GROH:** -- because we provided very
8 specific numbers and procedure for (indiscernible)
9 changes, and they were substantiated.

10 **MR. TIMOTHY:** Michael, you're unmuted.

11 **MR. IVANOVICH:** Yeah. Michael Ivanovich, AMCA
12 International.

13 Totally different track, sorry to break away from
14 this great discussion, but can you explain in the staff
15 report more about the testing requirements? I saw in
16 your presentation your seeking more information about fan
17 laws and that. I couldn't see in the test -- in the
18 drafted report about the testing regime that would be
19 acceptable to California. Can we, like --

20 **MR. GALDAMEZ:** So the regime that we normally
21 follow -- from what I understand is a basic model, right?
22 You test the basic model and then you can extrapolate
23 your information based on that same basic model, so that
24 basic -- if your basic model operates, say, at 130
25 horsepower, then every 130-horsepower fan would be the

1 same for that specific fan.

2 That would -- yes, that would be -- so what you guys
3 are proposing for what I understand is do like three
4 ranges of testing and then use fan laws to see which --
5 you know, switch up --

6 **MR. IVANOVICH:** To fill in between the cycling.

7 **MR. GALDAMEZ:** Exactly. In between the cycles and
8 all that. So what I need is more information. How can
9 we go about it, because we -- the CEC, in the testing
10 that has been done -- how we have done in other
11 appliances is based on the basic model, not a scheme of
12 fan laws, or laws per se, right?

13 So how would work or how would the CEC go ahead and
14 do it? Do we take this 150, 300, and 500 fan, right,
15 (indiscernible) or whatever, and then (indiscernible)
16 loss so it can interpolate -- well, this is the operating
17 FEI for this one here at 130, right? How do we go about
18 it and how would that go into the database? How do we
19 include that into the labeling of the fan? How would we
20 label the fan so that everybody knows they can peek at
21 the label and be like, well, I don't need to go to a
22 catalog to know this FEI means such and such a
23 (indiscernible) point, right?

24 **MR. IVANOVICH:** So we have to prove that the fan
25 laws are actually --

1 **MR. GALDAMEZ:** No, no, no. That's not accurate.
2 How do we put them into the database?

3 **MR. IVANOVICH:** Okay.

4 **MR. GALDAMEZ:** Right? How do we go about it so that
5 we can implement it at a database level? Now, the
6 catalog is out of -- we can't do that just based on
7 resources, based on -- we can't keep catalogs as part of
8 the regulation. Catalogs change. Regulations change
9 when it's time to change. You can't have a catalog
10 attached to a regulation. That's, like, a no-go on that.

11 **MR. IVANOVICH:** Can you decertify software or not?
12 Is AMCA certified soft -- or is that not a -- I just got
13 to ask the question.

14 **MR. GALDAMEZ:** It's something that I will have to
15 look at. I don't see how I can attach it to the database
16 that we have or how can I make the link to that software
17 happen.

18 It's just we're limited in resources not only
19 technologically, but also manpower. You guys got to
20 understand that we're not Lockheed Martin, or somebody
21 with a big -- like that can hire endless engineers and
22 (indiscernible) --

23 **MR. LESSANS:** Can we get some clarification on what
24 a basic model is? Because in the fan industry when we're
25 talking basic model, we're talking design. So you can

1 stretch that design all you want, and the fan lines take
2 care of it demand. I think you -- I think we have a
3 fundamental disconnect on what a basic model is.

4 **MR. GALDAMEZ:** Yeah. Maybe one of -- can you take
5 that, to explain a basic model or --

6 **UNIDENTIFIED SPEAKER:** A basic model -- we have a
7 definition in our (indiscernible).

8 **MR. STEFFENSEN:** Sean Steffensen, California Energy
9 Commission. We have a basic model in our regs that
10 describes what a basic model is. It's an appliance where
11 a test is run and all the characteristics that go into
12 the performance and the energy efficiency have to be
13 substantially the same. So we're -- an example would
14 be --

15 **MR. LESSANS:** What's substantial?

16 **MR. STEFFENSEN:** It means, like, the input power or
17 the output power, or any sorts of characteristics such as
18 test points would all be identical in nature. So I
19 think -- I don't know -- I would say with fans,
20 particularly that would probably be the airflow, the
21 pressure test points would have to be substantially the
22 same.

23 The input power would be substantially the same.
24 The output power would be substantially the same, because
25 in this instance what we're looking for is a model that

1 is substantially the same. It has all the same operating
2 characteristics, but maybe the color is different. There
3 are other sorts of features that are offered that don't
4 affect the power consumption or the energy efficiency of
5 the product. That's the kind of the spirit of the
6 definition.

7 **MR. WAGNER:** Greg Wagner. First, I was going to
8 say, the problem with that definition is that we've been
9 talking about the model or the FEI where it's the map
10 (indiscernible), so. There's a wide range of powers, and
11 operating speeds, and other things for any given fan. So
12 you can't just look at output power or input power, those
13 kinds of things. There's going to have to be some other
14 discriminator that's going to have to define what a basic
15 model is.

16 But I kind of want to go back to the data and the
17 discussion of input data and what's necessary. I was
18 looking at the numbers you put out today, and I was
19 looking down that list of the cost-effectiveness of
20 standalone fans. I noticed three out of the seven groups
21 that are paid off way less than a year.

22 I'm just -- I got a question to -- maybe it's the
23 AMCA people, the energy advocates, the utilities people
24 of California, why are people not adopting these? If
25 hundreds of millions of dollars can be paid back in less

1 than a year, this whole thing just doesn't smell right.
2 It sounds like the cost numbers are not quite right,
3 because you could go up the -- just up the road or down
4 the road, wherever it is, in Silicon Valley and find
5 investors that would be happy to pay for these kind of
6 returns, getting paid back in three months. This --
7 this -- these numbers that you've adopted -- and I'm not
8 sure where they came from, but they don't make sense.

9 **MR. GALDAMEZ:** If you have data that came from --
10 that you can support -- that can disprove that please, by
11 all means, provide it, because, I mean, that's exactly
12 what we're looking for.

13 **MR. WAGNER:** Well, what I'm saying is, if these
14 investments can be made, you can take this up the road,
15 like I said, to Silicon Valley and there'll be people
16 more than happy to take these kind of paybacks.

17 **UNIDENTIFIED SPEAKER:** (Indiscernible).

18 **MR. GALDAMEZ:** There's a person on the web with a
19 comment.

20 **MR. TIMOTHY:** John, you're unmuted.

21 **MR. BADE:** Thank you. So I'll speak to a couple of
22 things. So I'll continue Greg's comments. So you know,
23 we've been asked to provide data and so, I have a
24 question. You know, I am very uncomfortable with not
25 knowing the base data -- the base assumptions that are

1 being made about efficiencies of fans that are sold
2 today, because to exactly Greg's point, in the world we
3 live in -- you know, gosh. I mean, I never see a fan
4 selected that horribly by an engineer.

5 You know, Louis made the point, "Well, a good
6 engineer, you know, knows what he's doing. He's not
7 going to do that." Well, yeah, Louis. I mean, you're
8 right. These engineers aren't dumb. They're not picking
9 terrible, terrible fans like this data would imply, so
10 the question is can we see the work behind how you
11 arrived at these numbers? And again, I'm not arguing the
12 (indiscernible) numbers, where that seems to be a whole
13 lot of discussion. I'm --

14 **MR. GALDAMEZ:** I would think the appendix --

15 **MR. BADE:** (Indiscernible) --

16 **MR. GALDAMEZ:** -- (indiscernible) in the appendix.

17 **MR. BADE:** Oh, okay.

18 **MR. GALDAMEZ:** And it is explained in the appendix
19 on the report.

20 **MR. BADE:** Oh, okay. Well, I'm sorry. Thank you.
21 I didn't realize. I'll be honest with you, I did not
22 read the appendix. I --

23 **MR. GALDAMEZ:** (Indiscernible).

24 **MR. BADE:** And I'm going to respond also to Louis's
25 comment about, "Well, you know, all these guys are saying

1 hitting FEI1 is not a problem. At least John Bade is
2 saying that." And I want to very clear, I come from the
3 air-handler world. It's a bit more expensive product
4 than rooftops and some of the other products that are out
5 there.

6 But I will say this -- gosh, in our world a lot of
7 our fans are up at that high FEI level. For one reason,
8 our fans tend to run at fairly high pressures so it's --
9 you know, we tend use some, I would say, normal fans, not
10 anything real special.

11 But yeah, my concern and my comments are going to be
12 not around FEI in and of itself is a bad idea. My
13 comments are all going to be about, okay, if you want to
14 do it in an appliance program, we need a lot more detail
15 about how our data is going to be worded in your
16 database.

17 For example, there's a comment in the staff report
18 text that says okay, well, FEI or OE -- or
19 (indiscernible) equipment manufacturers who are already
20 using a fan that is produced by somebody -- you know, a
21 fan manufacturer who's already registered, well, they're
22 covered. No problem. Well, okay. We do that. I mean,
23 all the product my group makes falls into that category,
24 but there is absolutely nothing in the proposed code that
25 says that.

1 And then further, we do package those fans that we
2 buy with drives -- you know, with belt drives and motors,
3 and VFDs. So one of the questions I'm going to bring up
4 is okay, does that mean that all of the possible fan and
5 motor combinations that we could possibly sell, which is
6 hundreds of thousands, of combinations have to be in the
7 database?

8 So that's the kind of thing that I'm going to be
9 driving at. And I think there's a lot of work yet to
10 create language to be very clear about what the
11 requirements for manufactures are going to be.

12 I'm not concerned about us meeting the FEI1 for our
13 products. I'm concerned about how is it going to be
14 documented in your system, and how do we ensure that we
15 all have a level playing field, so that if I'm telling my
16 customer he's got to have a 1.0, he can't go down the
17 road to somebody else who's going to game the system.

18 And to me, that's just as important. It wasn't
19 talked about today, but I think that is a very important
20 piece of the equation. So that's my comment.

21 **MR. GALDAMEZ:** Thank you for that comment.

22 **MR. WORTH:** This is Chad with the IOUs. We've spent
23 a lot of time talking about exhaust fans and the rooftop
24 units. One of the biggest savings opportunities in the
25 original NODA 3, granted there may be some shipment

1 changes, was the air handlers, which are not covered by
2 any metric. And I kind of like to hear a little more of
3 why that is not -- the FEI is not applicable there.

4 There's lots of other constraints on the other
5 products, the IEER, and things like that, but air
6 handlers was the big embedded fan in the room, the big
7 opportunity within the entire working group. I'd kind of
8 like to hear what opportunities we see there and why FEI
9 would not work there.

10 **MR. ERNST:** Skip Ernst with Daikin. The --

11 **UNIDENTIFIED SPEAKER:** The people in the room can't
12 hear you.

13 **MR. ERNST:** Oh. First, it's kind of answering the
14 question with a question. The break horsepower for CFM
15 is already a requirement in California on air handlers
16 and most other fans. Why is that not sufficient? Why is
17 something else required?

18 The DOE says that this the average efficiency or
19 this the -- and then they set this EL 3, and --
20 California already has many fan requirements already.
21 California fans must be up here already, because they
22 have more -- especially the break horsepower for CFM
23 already exists, has for a long time. You must have more
24 efficient fans already.

25 Why another regulation and one that is very onerous,

1 because we give our customers embedded fan performance.
2 That's what they need. They don't really care what the
3 standalone fan performance is. If you make a portion of
4 your fans, we don't even have our current efficiency
5 levels in the metric that is required by the proposed
6 regulation.

7 So our first step would be to find out -- to go
8 through a tremendous testing program to find out well,
9 are our fans compliant now or not. And these fans are
10 generally variable geometry with many, many options, and
11 the labeling or enforcement is probably is going to
12 eventually get to the point where you're putting --
13 you're' going to have to label -- I mean, it's going to
14 be considered. You're going to have to label the job --
15 the project -- the design information for the project.
16 So now you're generating a special label for every single
17 unit based on whatever the customer told you, which may
18 or may not be correct, and changed, perhaps, after they
19 told you.

20 Now I think I'm going to guess what Laura is aiming
21 at. And again, when you look, I guess, at this embedded
22 fan performance versus standalone, somebody showed a good
23 graph that shows that difference. The -- and again, we
24 don't have that current performance information. I
25 couldn't tell you the exact effect, other than we have

1 tremendous development to go find out what our current
2 ratings. And if a fan is not compliant, we'd have to
3 find a way to -- and it's again, there's no such thing as
4 an illegal fan. You have to find a window of acceptance
5 and show that to your customers. And again, we don't
6 have any information like that at this point in time.

7 **UNIDENTIFIED SPEAKER:** What models in the NODA 3 and
8 the whole working group, but it was a big energy saving
9 opportunity there, right? So a significant work has been
10 done on air handlers. They are unregulated, and my
11 understanding the fan power limits have been around for a
12 long time. And if the answer is there's no more energy
13 to be saved because there's fan power limits and building
14 codes all over the place, then the opportunity quantified
15 within the DOE process is completely --

16 **UNIDENTIFIED SPEAKER:** Flawed.

17 **UNIDENTIFIED SPEAKER:** I knew you were going to say
18 that.

19 **UNIDENTIFIED SPEAKER:** (Indiscernible) shipment data
20 was --

21 **UNIDENTIFIED SPEAKER:** What --

22 **UNIDENTIFIED SPEAKER:** -- totally (indiscernible) --

23 **UNIDENTIFIED SPEAKER:** Okay. --

24 **UNIDENTIFIED SPEAKER:** -- (indiscernible).

25 **UNIDENTIFIED SPEAKER:** -- but that doesn't mean it's

1 not cost-effective. I mean, the shipments could be
2 lower. The magnitude of the savings could be lower, but
3 it doesn't mean there's not cost-effective savings to be
4 had there.

5 **UNIDENTIFIED SPEAKER:** (Indiscernible) six times the
6 volume.

7 **UNIDENTIFIED SPEAKER:** I get that, but we've focused
8 a lot on this relief fan issue, which is even a smaller
9 amount, even considering that if (indiscernible) call,
10 so. We've been focusing on one fringe case all
11 afternoon.

12 **MS. PETRILLO-GROH:** Actually, I have a question for
13 the AMCA folks. So we're talking about the duty point,
14 the FEI being applicable for the duty point. When you're
15 looking at the system, the duct work, and other
16 (indiscernible) that the air handling unit is blowing air
17 through. There's a system design point, right? And then
18 there's the pressure that -- the pressure is another
19 obstruction that the fan has to overcome within the
20 cabinet.

21 Now, if you're going to change -- looking at the
22 example that I showed, if you're changing the cabinet and
23 the coil or the filter or anything that's within the
24 unit, you're look at different -- what ends up being two
25 different duty points. And so the FEI of one is not

1 comparable to the FEI of another.

2 So two different air handlers that can both provide
3 air to the space cannot be compared with this metric.
4 And this is what you're talking about as being a
5 fundamental metric for comparing products in an appliance
6 standard.

7 It's a building performance standard. You need to
8 limit the power consumption of the overall of the
9 product -- of the fan within the product. You need to
10 place that limit with proper allowances for known energy-
11 saving measures in a building standard, not in an
12 appliance standard where you cannot compare the
13 performance of two products performing the same job.

14 **MR. GALDAMEZ:** Hold on. So we're going to have an
15 answer here in the room, and then we're going to take the
16 questions online. All right.

17 **MR. STARR:** So this is Louis. Can you hear me?
18 Well, we'll assume --

19 **UNIDENTIFIED SPEAKER:** (Indiscernible).

20 **MR. STARR:** -- they can.

21 **UNIDENTIFIED SPEAKER:** (Indiscernible) mic. It's
22 clearer.

23 **MR. STARR:** Right. How about that? So maybe I can
24 answer this first thing, and then the AMCA people can
25 correct me when I get it wrong.

1 So what Laura was asking, we have a graph up on the
2 page there, AMCA 208. So essentially, you would take the
3 fan out of the unit, and that would be A or line 1. You
4 would stick back in the unit on the test stand so the
5 outlet of the duct and right before the duct, and that
6 would be line B.

7 And then you would basically know the RPMs at N and
8 you would make sure it's the same RPMs when you get the
9 second line, B. And those two give you -- that's how you
10 get those two lines. Am I right, or what am I missing
11 there, Armin?

12 **MR. HAUER:** (Indiscernible).

13 **MS. PETRILLO-GROH:** No. Well, what we're looking at
14 here is -- I mean, other than Greg pointing out there's
15 not test standard B, you're looking at -- for a essential
16 station air handling unit, you would design a specific
17 product for a specific application. You would be able to
18 use a different number of coils to achieve the same
19 cooling -- a different of number of coils and rows in
20 inch per inch for --

21 **MR. GALDAMEZ:** So you're talking about --

22 **MS. PETRILLO-GROH:** I'm talking about --

23 **MR. GALDAMEZ:** What fan are you talking about now
24 that you're talking about coils and all that? Are you
25 talking about the exhaust fan? Are you talking about the

1 condenser fan? Are you talking about --

2 **MS. PETRILLO-GROH:** The supply fan. And it --

3 **MR. GALDAMEZ:** -- the main fan --

4 **MS. PETRILLO-GROH:** The supply fan of the --

5 **MR. GALDAMEZ:** -- of the unit? The supply fan.

6 **MS. PETRILLO-GROH:** The supply fan for essential
7 station air handling unit. You can use different coils.
8 You can use different configurations within the unit --

9 **MR. GALDAMEZ:** Okay.

10 **MS. PETRILLO-GROH:** -- to achieve the same
11 desired --

12 **MR. GALDAMEZ:** So let me ask you --

13 **MS. PETRILLO-GROH:** -- outcome as it would have
14 different FEIs based on the system effect of -- the
15 cabinet effect.

16 **UNIDENTIFIED SPEAKER:** Right.

17 **MR. GALDAMEZ:** So if you guys -- all right. When
18 you -- when the fan is tested in those units, how do you
19 go about testing the fan performance where the fan
20 efficiency, like Ingersoll Rand mentioned, if there is no
21 test procedure? I mean, I don't understand how will you
22 then --

23 **MS. PETRILLO-GROH:** So a --

24 **MR. GALDAMEZ:** -- say that --

25 **MS. PETRILLO-GROH:** So a --

1 **MR. GALDAMEZ:** -- the fan is so much efficient, or
2 is there a way?

3 **MS. PETRILLO-GROH:** The AHRI 430 test standard looks
4 at the fan performance in the box with the most
5 restrictive coil that can be tested. And that test of a
6 single product or several different products that are
7 related in that basic model group as the fan community
8 looks at it, which is not the same power consumption.

9 **MR. GALDAMEZ:** So we know the most restrictive.
10 What is the pressure drop on that?

11 **MS. PETRILLO-GROH:** Okay, but only with that one
12 coil. We then, from that point, are able to calculate
13 using quite extensive computer software programs, how the
14 coils which are tested to another AHRI standard, and the
15 pressure drops from that impact the performance of the
16 fan in that box. But there's -- you do have to look --
17 when you're looking at something as complex as a central
18 station air-handling unit, there are commercial units and
19 then there are custom units.

20 The custom units, which would have a completely
21 custom configuration box size, are engineered to order
22 for specific jobs. You cannot use AHRI 430 for another
23 product.

24 And the fan laws don't apply when you start changing
25 the cabinet geometry so significantly for a family of

1 commercial products where there is known geometry
2 difference between different cabinet sizes in that group
3 for that different capacities. Then you end up with some
4 reasonable test standard, which is what is included in
5 the AHRI certification program for that.

6 But when you go to completely custom units, you
7 could do the test with that product. But you couldn't
8 ever take the performance of another unit and extrapolate
9 that -- or interpolate between two points to get the
10 performance using the software program.

11 **MR. GALDAMEZ:** So we're going to go to the questions
12 online, because they've been waiting for a while.

13 **UNIDENTIFIED SPEAKER:** (Indiscernible).

14 **MR. GALDAMEZ:** Well, you need to leave, right?

15 **UNIDENTIFIED SPEAKER:** Yeah.

16 **MR. GALDAMEZ:** Okay.

17 **MR. STEFFENSEN:** This is just -- again, going back
18 to that definition of a basic model. That's not a small
19 issue.

20 **MR. GALDAMEZ:** No.

21 **MR. STEFFENSEN:** And I asked -- there's no
22 definition of a basic model in the draft staff report.
23 I've been looking at some of the documents that you
24 showed these were different basic models are fine, but we
25 need one for fans.

1 And I would really humbly request that one be
2 provided during the comment period, so we can kind of
3 have an idea of what you guys are thinking about, what a
4 basic model of a fan is. Because as I currently
5 understand it, the testing burden based on what you told
6 me for the basic model blows the testing requirements out
7 of the water, and we really need to address that in real
8 time.

9 **UNIDENTIFIED SPEAKER:** You are first on for sure.

10 **UNIDENTIFIED SPEAKER:** So generally in California,
11 and because the proposal didn't change anything, what we
12 require is every fan that's pulled off (indiscernible)
13 offered for sale be certified by the Commission, be
14 tested, and meet any applicable standard. So every fan
15 model would need to be certified through the Commission,
16 every model number.

17 We allow the basic model to allow for manufactures
18 not to have to test every single model. So every
19 collection of models that are suitably similar, in that
20 they have the same electrical and physical
21 characteristics, maybe they're a different color, maybe
22 there is a mounting scheme or something that differs,
23 that doesn't affect the energy consumption, those can all
24 be lumped together as one basic model. And only that one
25 basic model needs to be tested.

1 **MR. STARR:** So that's kind of a very quick
2 explanation of the certification and testing requirements
3 in California. And I understand that -- we want to hear
4 comments as to how that may affect your industry.

5 **UNIDENTIFIED SPEAKER:** (Indiscernible).

6 **MR. STARR:** So there is --

7 **UNIDENTIFIED SPEAKER:** (Indiscernible).

8 **MR. STARR:** So it is up to the manufacturer to
9 determine what models are in a family.

10 **UNIDENTIFIED SPEAKER:** But you just said that if
11 changed (indiscernible).

12 **MS. PETRILLO-GROH:** So I wonder for -- I mean, fans
13 are definitely different. I think maybe where, like, how
14 you come up with the ratings (indiscernible) diameter,
15 and it may be too late for you (indiscernible) fan laws
16 rather than asking (indiscernible). So I think it's not
17 quite the basic model approach, but it defers the limit
18 testing burden so that (indiscernible) fan.

19 **UNIDENTIFIED SPEAKER:** So what --

20 **UNIDENTIFIED SPEAKER:** (Indiscernible).

21 **MS. PETRILLO-GROH:** I think maybe that's a
22 discussion.

23 **UNIDENTIFIED SPEAKER:** (Indiscernible).

24 **MR. GALDAMEZ:** Yes, if you guys can -- exactly.
25 That's exactly what I need, just an explanation on how to

1 go about it and all that.

2 All right. So we're going to go online, because
3 they've been waiting for a while. I'm sorry.

4 **MR. TIMOTHY:** All right. Ron Cosby (ph.), you're
5 unmuted.

6 **MR. COSBY:** So I'm not sure I remember what my
7 comment was, but one, I think back to the regulations for
8 air-handler fans. That does fall under Title 24, Section
9 140.4 around KW per CSM. So air handlers are regulated
10 via Title 24 in terms of the total air flow in a
11 building. So though it may not be a specific regulation
12 to the air handler, it is on from a building perspective.

13 Now, to the comments around why we've been talking
14 more on unitary rooftops versus air handlers, you have to
15 look at how air handlers have typically been built.
16 They're typically designed around the fan, and with that
17 the box effects are typically a little bit less.

18 So Laura went into some of the issues that we had
19 with those. They have a difference between what we call
20 catalog air handlers and then custom. Catalog, we are
21 building that box around the fan. So it's a more
22 representative test or more closely resembles standalone.

23 When you move the custom air handlers, it is not
24 because that fan may not exist on its own. We don't
25 necessarily -- it's a one-time type of build.

1 When you move to unitary rooftops, we don't build
2 the box around the fan. We put the fan inside the box
3 because there are roof constraints. There are lifting
4 constraints. There are space constraints.

5 So fan footprint is a big deal, and the fans that a
6 lot of OEMs use in rooftops do not exist as standalone
7 fans. There is no framework for a fan. That fan does
8 not exist. The framework of that fan is the box that
9 it's put into.

10 So there is no way to test that. There is no fan.
11 So that wasn't my original question or my original
12 comment, but I don't remember now, because it's been a
13 while.

14 But I thought just based on the conversation, you
15 need to understand -- because I think one of the things
16 that Alejandro had in his presentation was that air-
17 cooled chillers are built around a fan. That is not
18 right at all.

19 Air-cooled chillers -- it's a condenser fans, and
20 condenser fans are -- I mean, it's not air-flowed
21 delivered to a customer. So if we are any -- it's a
22 heat-rejection fan. If we are regulated on
23 heat-rejection fans, we're going to redesign that to take
24 the fan out of the equation. That will be zero energy
25 savings whatsoever, because we'd change coils.

1 **MR. GALDAMEZ:** Oh, do we have another --

2 **MR. COSBY:** So heat-rejection fans should be off the
3 table period.

4 **MR. GALDAMEZ:** Thank you. Do we have anyone online
5 or -- oh, one more online. Sure.

6 **MR. TIMOTHY:** Okay. John Bade, you're unmuted.

7 **MR. BADE:** And this is John Bade from Johnson
8 Controls. So I'll respond to a couple of things. First
9 of all, everything Ron just said, yeah, absolutely
10 correct. I will say in the air-handler world our
11 projects are largely built around the fans, and our
12 customers are extremely concerned about fan-powered
13 consumption.

14 And Skip, I'm going to disagree with you. I think
15 we really do have the data to know whether we're meeting
16 the FEI requirements. We know the power input to our
17 units. We know the pressure drops through our air
18 handlers, which quite frankly, most embedded products
19 don't know that, but as air-handling manufactures we do,
20 because we do have to know them component by component.
21 I will tell you, I'm not concerned about the air-handler
22 industry, like, from what we physically sell, doing
23 anything different.

24 I am worried about A, the paperwork process and
25 making sure that it is well documented and not onerous.

1 And quite frankly, I'm not sure how to make that happen.

2 The most important thing I'm concerned about is
3 making this enforceable. And I believe that the reason
4 the DOE never came out with anything was because they
5 realized that in an appliance standard where every
6 appliance was okay at some point and not okay at another,
7 was ultimately not going to be enforceable.

8 In Europe they do it a different way where they base
9 it -- every fan has a particular performance and they
10 meet it or they don't. That has its downsides, too, but
11 at least that works as an appliance standard.

12 This is -- I think FEI will work great in Title 24;
13 It'll work great in 90.1. I think you are signing up for
14 a nightmare putting it as an appliance standard.

15 So I have some questions for Alejandro in terms of
16 what would be considered sufficient data. So for
17 example, if I shared -- here's all the air-handlers sold
18 and the FEIs of air-supply fans, and exhaust fans, as
19 shipped and selected, and maybe we got some other
20 air-handler companies to do that. I mean, would that --
21 would you consider that sufficient data to --

22 **MR. GALDAMEZ:** Can you repeat --

23 **MR. BADE:** -- see where we are?

24 **MR. GALDAMEZ:** Can you repeat the fields? I didn't
25 understand the fields you were talking about. So you're

1 saying, what again, the air handler plus what?

2 **MR. BADE:** So if we gave you the data -- So I'm --
3 as we were talking here I downloaded a bunch of data.
4 Now, all the air handlers we shipped, and their air
5 flows, and their static pressures. And we shared with
6 you where they are today, I believe what you're going to
7 find is that we're already pretty well above one on the
8 supply fan side, and many of our fans on the exhaust fan
9 side even are above one. Some of them will not be, but
10 the ones are not are because they are operating at very
11 low pressure.

12 **MR. GALDAMEZ:** Okay.

13 **MR. BADE:** Would that --

14 **MR. GALDAMEZ:** Yeah, that would help. That's
15 exactly the data that would help, because then I'll see
16 what the percentage is and maybe it'll lead into lowering
17 the FEI for the exhaust fans that cannot comply with the
18 1.0.

19 **MR. BADE:** I guess the other thing that I was
20 wondering about is certainly the number of the people in
21 the room there may know some engineers in California who
22 are very well respected. I mean, Louis made the
23 statement engineers aren't picking (indiscernible) fans,
24 and I agree with that.

25 I mean, would it be of any value to you if we were

1 able to arrange a short call with you with some of the
2 engineers to have them explain to you what goes into
3 their process for picking fans?

4 **MR. GALDAMEZ:** Yeah. By all means, yeah. That
5 actually helps me, yeah. And you --

6 **MR. BADE:** Okay.

7 **MR. GALDAMEZ:** I mean --

8 **MR. BADE:** Yeah.

9 **MR. GALDAMEZ:** Yeah.

10 **MR. BADE:** Like I said, I'm not concerned about
11 any -- I'll even say for, you know, when Skip was talking
12 about his product. Believe me, we -- he's our
13 competitor.

14 And I can tell you, Skip, your FEIs are just fine.
15 You know, I'm not worried about you guys even making it
16 either, so.

17 We have to come up language that makes sure that
18 this thing is well documented. What are the BMGs? What
19 do manufacturers have to put in for their data? What do
20 the embedded fan manufacturers have to put in for data?
21 There is very little language around that, and that
22 really concerns me. We have to do a lot work together on
23 that.

24 **MR. GALDAMEZ:** Okay. By all means, please submit
25 some ideas; that'll be great.

1 **MR. BADE:** Oh, yeah. They're coming.

2 **MR. GALDAMEZ:** Okay.

3 **MR. STARR:** This is Louis with NEEA. First of all,
4 the fan power allowance as a way of driving fan
5 efficiency is totally impractical. It's widely known --
6 it's called an ankle-breaker to get over that thing,
7 which means is you just have to jump over it and it's at
8 your ankle. So the idea that you're going drive fan
9 efficiency for the fan power limit regulations 90.1 or
10 even California (indiscernible), it's not realistic.

11 It's the fan and the part of the efficiency, there's
12 other elements in it. There's the building system.
13 There's filters. There's everything downstream of it.
14 So it's just so -- you're trying to affect a small part
15 of the equation with a big regulation that includes a lot
16 of other parts. So to me, that's not a really realistic
17 way of doing it.

18 Mike Wolf about forty-five minutes ago said, "We
19 don't want to do anything that DOE wasn't headed down."
20 And I would say, "That's exactly right, Mike."

21 That's why Joanna, I, the California -- picked up
22 the term sheet that we'd spent three -- that the DOE had
23 spent three million dollars working on, and went that
24 way. And what it included is going after air handlers
25 with the fan metrics.

1 So we are headed the direction that -- you are
2 headed the same direction that DOE is headed, which to my
3 mind I didn't like certain aspects of it, but the
4 analysis is there and some of the long hours of
5 negotiations are there. So for me, it's the smart thing
6 to do.

7 And the other thing is on the fans, and we only make
8 fan for an embedded piece of equipment, we don't know if
9 it is separate. They know other things like they know
10 the cabinet losses, they know the fan. So it's kind of
11 like you know two, and you don't know the third one. And
12 so there's more than one way to get at that.

13 If, Alex, you called down and wanted a -- if you
14 were working at a fan manufacturer, I'm sure you could
15 tell me based upon knowing the fan wheel and something,
16 how to actually create a piece of equipment that met the
17 customer's needs.

18 So the idea that we can't figure out those cabinet
19 losses -- and that's in 208 -- AMCA 208 annex B or
20 something. That's a method of how to go about doing it.
21 So it's quite of bit of time thought (indiscernible). So
22 to me, I think all things are in place there.

23 And last thing, and I would say this is maybe too
24 helpful. Laura was mentioning that she's got forty-eight
25 pieces of equipment bought; what information do you need?

1 Well, my thought is is that there are some things that
2 have a lot more savings associated with it, and maybe CEC
3 could focus on those things that have a lot of savings
4 with it and get the data worked out on that. And then
5 (indiscernible) five or ten. And then, I think, Chad had
6 alluded to that, but that could be a good approach.

7 **MR. WOLF:** (Indiscernible), Mike here. So Louis, I
8 just want to clarify what I said and what you heard me
9 say. Maybe we need to extend this to refreshment later
10 to get it fixed.

11 But I was part of the ASRAC. I agree that we were a
12 long ways down that path. Whatever I said, I didn't mean
13 to imply that what we did there wasn't taking us along
14 the correct path, okay?

15 What I did say is we shouldn't be using these fan
16 regulations to problem with some other regulation that
17 may exist out there. That's all I said. That's all I
18 said.

19 Now, how you interpret that is up to you, because
20 now I'm take and turn it on you. If I understand what
21 you just said, that the fan parliaments in 90.1 in CEC
22 don't do anything, let's get rid of them. Let's just get
23 rid of them.

24 **MR. STARR:** They do --

25 **MR. WOLF:** Is that what you're saying?

1 **MR. STARR:** Well, an ankle breaker is better than no
2 breaker.

3 **MR. WOLF:** Well --

4 **MR. STARR:** It's not just for the equipment. It's
5 for the design. The design --

6 **MR. WOLF:** Okay. So the answer is no --

7 **MR. STARR:** (Indiscernible) --

8 **MR. WOLF:** -- we shouldn't get rid of them.

9 **MR. STARR:** Right.

10 **MR. WOLF:** They are helpful. They help move the
11 process --

12 **MR. STARR:** They help with the design.

13 **MR. WOLF:** -- forward and save energy.

14 **MR. STARR:** (Indiscernible), but they're not meant
15 for the air handler --

16 **MR. WOLF:** Okay.

17 **MR. STARR:** -- or the air (indiscernible).

18 **MR. GALDAMEZ:** I have a question, and this is just
19 what I have heard. I have heard here that most of the
20 fans are above one or one FEI. Well, I mean, what
21 would -- I just want to understand because that is the
22 argument that has been presented here constantly. What
23 is the actual (indiscernible) --

24 **MS. PETRILLO-GROH:** No --

25 **MR. LESSANS:** Mark Lessans with Ingersoll Rand.

1 That may be the case for air handlers that was stated.
2 That is not the case for commercial unitary equipment. I
3 needed to make sure I cleared that up.

4 **MR. GALDAMEZ:** Thank you for clarifying that.

5 **MS. PETRILLO-GROH:** These aren't the level of
6 products that could be impacted by this. There hasn't
7 been the same level -- there isn't the same level of
8 data, and there hasn't been the same level of analysis.
9 So the testing, and labeling enforcement, and record
10 keeping on this are extremely onerous, and they're very
11 complex when it comes to -- like, California doesn't
12 address engineered to order products.

13 Like I was mentioning, when you go down to the
14 design -- the design engineer will go down -- for
15 example, a train selection program, or carry a selection
16 program, and actually say, I've got this amount of space
17 to use in my mechanical room. I cannot go above eight
18 feet. I have to choose and -- but I have to deliver
19 60,000 CFM to my floor of my department store, if people
20 are still building department stores, which they're
21 probably not.

22 But either you go through and you build a specific
23 product for that specific application. How does that get
24 sold in California? I mean, that's the only one that was
25 ever built. These are engineered to order products, and

1 this is not an uncommon situation. And even if it was,
2 you'd still want to be able in the State of California.

3 **MR. GALDAMEZ:** So the products that you're saying
4 they're really low in the market, right? I mean, is
5 there a custom and just one built every, what?

6 **MS. PETRILLO-GROH:** I mean, every building is custom
7 if you think about it that way, but some of them require
8 more precise or engineered products. And these are
9 regional manufacturers that are largely not represented
10 by AHRI.

11 **MR. WOLF:** Mike Wolf from Greenheck here. So an
12 example, yeah. So please don't think that all embedded
13 fans should be raised to something higher than one,
14 because that is not the case. The engineered to order
15 example that Laura gives, that encompasses pretty much
16 all of the Greenheck products in terms of embedded
17 equipment, and they're unregulated products, as well.

18 So examples of that would be a make-up air on a
19 kitchen system. For example, okay? I mean, just walk
20 out this building and you're going to see a ton of that
21 stuff. We have a number of those fans in our make-up air
22 units that probably do not have a FEI of 1.0, which will
23 be impacted by this regulation.

24 What concerns us more, and I think probably concerns
25 others in the room more is that, okay, if we start at one

1 then next time it's 1.2 or 1.3. We know that pretty
2 quickly we get to a point of I guess, what we call max
3 tech or diminishing returns, or something that's just
4 physically not possible to do pretty quickly once we get
5 above that 1.0 mark. So that's another concern that I
6 don't think anybody has raised today and said, okay. If
7 we set the threshold here, but we know that our -- okay,
8 next time it's going to be ratcheted up.

9 **MR. GALDAMEZ:** (Indiscernible) not -- that it's
10 almost impossible to get 1.0, okay? What suggestions do
11 you guys have for what FEI level should they be if we
12 include them? And how can we -- what is the range of
13 performance to get it to a comparable FEI, in which the
14 fan is easy to test, easy to be implemented, doesn't
15 require a lot of testing? I mean, can you guys give me a
16 number on that?

17 **MR. WOLF:** We can give it to you on our products. I
18 can't speak for everybody else.

19 **MR. TIMOTHY:** John Bade, you're unmuted.

20 **MR. BADE:** Thank you. So first, I'm going back to
21 Louis' comment about the fan power and FEI 90.1 being an
22 ankle-breaker. I take complete exception to that as a
23 voting member of the 90.1 mechanical subcommittee.

24 For the mechanical part of 90.1, that particular
25 provision, I promise you -- our members will tell you,

1 that's one of the ones that we hear the most complaints
2 about from engineers about being difficult to meet.
3 Yeah, there are times if your air handler is located very
4 close to the space its serving, so it's efficient because
5 you don't have a long duct. Yeah, then it's not an
6 issue, but believe me, to call it an ankle-breaker is a
7 complete mischaracterization of that.

8 And to that point, as I mentioned earlier -- and,
9 Louis, you have seen the PowerPoint of the draft -- we
10 can make that tougher, and I am working on making that
11 restriction stricter based on FEI. But that's the place
12 where we can work it, because that's when engineers are
13 making their decisions about their airflows and their
14 pressures, when they're building a design.

15 So if you don't think -- if you don't think it's
16 tough enough, that's fine. I'm willing to make that
17 tougher, but that is the place we need to do it -- that
18 and Title 24. It is going to be very, very complicated
19 and very onerous to do it here.

20 That's my comment.

21 **MR. GALDAMEZ:** Thank you. One and then two, or --
22 let's start where the mic is and then we'll go to you.
23 That'll make easier.

24 Go ahead.

25 **MR. WAGNER:** All right. This is Greg.

1 Yeah, I wanted to say that comment that these fans
2 all meet 1.0. Well, all fans meet 1.0 at some point or
3 another as we've discussed many times. The question is
4 is how do those operating maps overlay with the operating
5 maps of the equipment, and that's where the challenge
6 lies.

7 It's not in just saying a fan meets a 1.0, because
8 that's always the case. So a lot of this analysis breaks
9 down when you start looking at just saying a fan meets a
10 1.0.

11 **UNIDENTIFIED SPEAKER:** Go ahead.

12 **MR. CATANIA:** Tom Catania consultant to AMCA. Alex,
13 I think you've done a great job in being clear about what
14 you need to help move this process along as you're
15 required to.

16 I think some of the room may be not understanding
17 the significance of the difference between the federal
18 process and the state process. It's been my experience
19 that -- and especially when presented with a nearly
20 complete, whatever the reason DOE decided not to issue
21 it, but a nearly complete multi-year process looking at
22 this product category and a record that was available to
23 you to look at in preparing your work, that the CEC does
24 not often reject well-documented staff recommendations,
25 and their decisions that they take are not often

1 overturned later in long, drawn-out litigation
2 proceedings. So I'm just reinforcing, for the audience,
3 the need to proactively submit real, heard, reliable
4 data, because in the absence of it, the Commission has
5 plenty to draw conclusions from.

6 **MR. GALDAMEZ:** And that's exactly the point. I
7 mean, I'm not here to just impose a regulation that
8 doesn't make sense, but if I don't get participation from
9 everybody, and enough information to support that, I
10 can't help you. I can't go against the data that I have
11 in front of me.

12 So if you really want embedded fans to be excluded
13 and you have enough information, by all means, please
14 submit all that information, work with your AHRI, work
15 with PG&E on getting those legal primers set so that
16 information can get to me without things that cannot be
17 public, be public. So that I can work with it and
18 support what you guys see as a problem.

19 What we look for is energy savings, nothing else,
20 for California. I mean, we reach a point where -- I'm
21 sorry to sound so green here, but I think if we don't
22 improve technology and push it in a regulation basis -- I
23 mean, there's a lot of denial of the climate changes and
24 a lot of denials and (indiscernible) and I'm not one that
25 denies that we need engineered solutions for the future.

1 I mean, we're in a pickle here in California, the
2 only state, so far, that always been at the forefront of
3 environmental laws and getting the future -- saving
4 energy. I mean, if you look up our record.

5 So I mean, I do need your help to make this happen.
6 I'm not here to be against -- oh, embedded fans. We
7 didn't agree with -- all right, that's the past. Let it
8 be. Let's take this report and give me the information
9 that I need so I can work with it.

10 **MS. ANDERSON:** This is Mary Anderson from PG&E. If
11 you see any errors or things that you want us, on our
12 team if we do the analysis, come talk to us. We'll come
13 to you. We will talk to you multiple times until we get
14 it. We'll ask questions. I will send these guys and
15 myself, and whoever else we need to make sure we get this
16 right.

17 If you want to work with us, we are open and
18 interested. So okay.

19 **MR. GALDAMEZ:** Go ahead, Mike.

20 **MR. IVANOVICH:** Yeah, this is Michael Ivanovich from
21 AMCA. And again, I echo what Tom said. You've done a
22 wonderful job looking at the, almost, six years of
23 established record.

24 Our rulemaking and working for California, I think
25 from our perspective this still represents the first

1 draft regulation for fans and one that uses a new metric.
2 And based on our discussion today and some of these
3 revelations, I just have to reiterate that our request
4 for a sixty-day extension is sincere and that we're not
5 just here to look at it and comment. These aren't going
6 to be editorial comments. We have to do some
7 development. We have to look for things that are
8 probably not in the regulation wording, but are inferred.

9 So we have some research to do. We have some
10 coordination with your office, with Mary at PG&E, and the
11 advocates as well, and our own members. And it's a
12 process that requires time. It's not just read, and
13 review, and comment. It's a coordination process that's
14 going to take some time.

15 So I'd just like to reiterate that our request for a
16 sixty-day extension is based on a process thing, not just
17 a reading and review (indiscernible).

18 Thank you.

19 **MR. GALDAMEZ:** Nobody else on the line? So I know
20 you guys got to catch some planes -- oh, good. We have
21 one more.

22 **MR. ERNST:** Skip Ernst from Daikin. One thing that
23 hasn't been talked about is replacement fans. There are
24 some replacement fans where nothing other than the
25 original can be safely used, particularly with use with

1 gas furnaces and electric heat, and seismic performance.

2 So if the fan on this building broke, and they go to
3 replace it, and they find that that fan is not compliant,
4 you would have to replace the unit, which is an
5 incredible burden for the building owner. And not just
6 the cost of the replacement, but the lost air
7 conditioning and heating in the meantime, because it
8 takes months, at best.

9 So the replacement fan -- and again, it's a safety
10 issue. What you're going to find is people will be
11 substituting unsafe fans. I mean, a building owner is
12 not going to have a choice. That's what you're forcing
13 them into.

14 **MR. GALDAMEZ:** I understand.

15 **MS. MAUER:** I know a lot of people have flights to
16 catch, and they need to get on the road. What I'd like
17 to do is to reiterate our need for data. Please send us
18 your data.

19 If you do have confidential information, Mary has
20 the ability to keep it confidential and still provide us
21 with information we need. So I would implore you is to
22 work with Mary. She does have the ability to do an NDA.

23 So a lot of people said they would send in
24 information. Either send it to Alex or work with Mary
25 for an NDA. We do have a confidential information

1 process here, but it's a little bit different than an
2 NDA. So if you're extremely concerned about that, I
3 would say work with Mary. She can get it done a little
4 bit faster.

5 **MR. GALDAMEZ:** So with that, I will close the
6 meeting for today -- the workshop. Thank you for coming.

7 And again, if you guys need any one-on-one meetings
8 or explain to me something, I'm available on my email or
9 give me a call, and I can set a meeting and we can meet
10 over here and go with it.

11 Thank you so much for coming.

12 (End of Recording)

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

TRANSCRIBER'S CERTIFICATE

STATE OF CALIFORNIA)
)
COUNTY OF SACRAMENTO)

 This is to certify that I transcribed the
foregoing pages 1 to 192 the best of my ability from an
audio recording provided to me.

 I have subscribed this certificate at
Phoenix, Arizona, this 14th day of August, 2018.



Rebecca P. Gosnell
eScribers, LLC