

DOCKETED

Docket Number:	18-IEPR-05
Project Title:	Climate Adaptation and Resiliency
TN #:	224653
Document Title:	Transcript of 08022018 Joint Agency Workshop on Climate Adaptation and Resiliency
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	9/6/2018 8:18:12 AM
Docketed Date:	9/6/2018

CALIFORNIA ENERGY COMMISSION
IEPR LEAD COMMISSIONER WORKSHOP

In the Matter of:)	Docket No. 18-IEPR-05
)	
)	
)	JOINT AGENCY
)	WORKSHOP
)	
<i>2018 Integrated Energy Policy</i>)	
<i>Report Update</i>)	
<i>(2018 IEPR Update)</i>)	Re: Climate Adaptation
_____)	and Resiliency

NOTICE OF JOINT AGENCY WORKSHOP ON
CLIMATE ADAPTATION AND RESILIENCY

CALIFORNIA ENERGY COMMISSION

THE WARREN-ALQUIST STATE ENERGY BUILDING

ART ROSENFELD HEARING ROOM - FIRST FLOOR

1516 NINTH STREET

SACRAMENTO, CALIFORNIA 95814

THURSDAY, AUGUST 2, 2018

10:00 A.M.

Reported By:
Elise Hicks

APPEARANCES

COMMISSIONERS & ADVISERS:

Robert B. Weisenmiller, Chair, Lead Commissioner for
Electricity and Natural Gas

Keali'i Bright, California Natural Resources Agency,
Deputy Secretary for Climate and Energy

Ken Alex, Governor's Office of Planning and Research,
Executive Director

J. Andrew McAllister, Lead Commissioner for Energy
Efficiency

David Hochschild, California Energy Commission, Lead
Commissioner for the 2018 IEPR Update

Karen Douglas, California Energy Commission, Lead
Commissioner for Siting

Rachel Peterson, California Public Utilities Commission,
Chief of Staff for Commissioner Liane Randolph

Ken Rider, Advisor to Commissioner Hochschild

Matt Caldwell, Advisor to Commissioner Scott

STAFF:

Heather Raitt, IEPR Program Manager

Guido Franco

David Erne

PRESENTERS:

David Stoms, California Energy Commission

APPEARANCES (CONT.)

PRESENTERS:

Chris Keithley, CAL FIRE

Russ Henly, California Natural Resources Agency

Jason Ko, United States Forest Service

Timothy Tutt, Sacramento Municipal Utility District

Jason Ko, United States Forest Service

Guido Franco, California Energy Commission

David Erne, California Energy Commission

Timothy Tutt, Sacramento Municipal Utility District

Kristin Ralff-Douglas, California Public Utilities
Commission

Elizaveta Malashenko, California Public Utilities
Commission

Susan Wilhelm, California Energy Commission

Jason Vargo, California Department of Public Health

Michael McCormick, Governor's Office of Planning and
Research

Jana Ganion, Blue Lake Rancheria

Pam Doughman, California Energy Commission

Brian D'Agostino, San Diego Gas & Electric

Kevin Dasso, Pacific Gas & Electric

Bill Chiu, Southern California Edison

APPEARANCES (CONT.)

PRESENTERS:

Bill Herriott, Los Angeles Department of Water and Power

Terry Crowley, City of Healdsburg

PUBLIC SPEAKERS (* Via telephone and/or WebEx)

Edith Moreno, Southern California Gas Company

I N D E X

	<u>Page</u>
1) Introduction Heather Raitt, Integrated Energy Policy Report (IEPR) Program Manager	8
2) Opening Comments Robert B. Weisenmiller, Chair of the California Energy Commission and Lead Commissioner for Electricity and Natural Gas Keali'i Bright, California Natural Resources Agency, Deputy Secretary for Climate and Energy Ken Alex, Governor's Office of Planning and Research Executive Director J. Andrew McAllister, Energy Commission, Lead Commissioner for Energy Efficiency David Hochschild, California Energy Commission, Lead Commissioner for the 2018 IEPR Update Karen Douglas, California Energy Commission, Lead Commissioner for Siting Rachel Peterson, California Public Utilities Commission, Chief of Staff for Commissioner Liane Randolph	9
3) Panel 1: Climate Change and Wildfire: Risk Management for Natural and Working Lands Moderator: David Stoms, California Energy Commission Panelists: Chris Keithley, CAL FIRE Russ Henly, California Natural Resources Agency Jason Ko, United States Forest Service	17
4) Staff Presentations: Climate Change and Wildfire in California: An Update of Science and Technology Guido Franco, California Energy Commission David Erne, California Energy Commission Timothy Tutt, Sacramento Municipal Utility District	58

I N D E X (CONT.)

5) CPUC Staff Presentation: CPUC Climate Adaptation OIR and Fire-Safety Regulations Kristin Ralff-Douglas, California Public Utilities Commission Elizaveta Malashenko, California Public Utilities Commission	77
6) Panel 2: Actions to Address Wildfire Risks for Vulnerable Populations and Critical Facilities Moderator: Susan Wilhelm, California Energy Commission Panelists: Jason Vargo, California Department of Public Health Michael McCormick, Governor's Office of Planning and Research Jana Ganion, Blue Lake Rancheria-Via WebEx	104
7) Panel 3: Actions to Address Wildfire Risks for Energy Infrastructure and Operation Moderator: Pam Doughman, California Energy Commission Panelists: Brian D'Agostino, San Diego Gas & Electric Kevin Dasso, Pacific Gas & Electric Bill Chiu, Southern California Edison Bill Herriott, Los Angeles Department of Water and Power Terry Crowley, City of Healdsburg Vincent Chen, Jupiter Intelligence	142
8) Public Comments Edith Moreno, Southern California Gas Company	201
9) Closing Comments	206

I N D E X (CONT.)

Adjourn	206
Court Reporter's Certification	207
Transcriber's Certification	208

1
2 P R O C E E D I N G S

3 AUGUST 2, 2018

10:03 a.m.

4 MS. RAITT: Good morning, everybody. Welcome to
5 today's joint agency IEPR workshop on climate adaptation
6 and resiliency. I am Heather Raitt. I'm the program
7 manager for the IEPR, the Integrated Energy Policy Report.

8 So I'll just quickly go over our housekeeping
9 items. If there is an emergency, please follow staff out
10 the doors and across the street to Roosevelt Park, and just
11 know that today's workshop is being broadcast through our
12 WebEx commenting system, so we will have a written
13 transcript posted on our web site in about a month, and an
14 audio recording posted in about a week.

15 We do have a full agenda today, so I'd like to
16 remind our speakers to stay within your allotted times, and
17 we'll be providing timing reminders as needed. And, also,
18 since we do have folks on WebEx, if you could please
19 identify yourself each time you speak, it's very helpful
20 for our transcript and for our folks on WebEx.

21 At the end of the day, we'll have an opportunity
22 for public comment, and we'll limit those comments to three
23 minutes per person, and so you can go ahead and fill out a
24 blue card and give it to me if you wanted to make comments,
25 and we'll also take comments from WebEx. You can just
raise your hand to let the WebEx coordinator know, and

1 we'll just be taking those at the end of the day as well.

2 Written comments are welcome, and they're due on
3 August 16, and with that, I'd like to open up the dais for
4 opening remarks. Thank you.

5 CHAIRMAN WEISENMILLER: Yes. Let me start.

6 As you can tell, the breadth of these issues cuts
7 across a lot of agencies, so this is a fairly significant
8 interagency participation, although I should note Office of
9 Emergency Services is actually dealing with an emergency
10 right now. So, anyway, they were limited on how much they
11 could participate today, but, you know, this is a pretty
12 interesting workshop.

13 We are getting to the point in the Fourth Climate
14 Assessment of starting to roll out the research, and it's
15 40 to 50 peer-reviewed papers that will be coming out this
16 month, to the end of the month, and this really combines a
17 lot of activities by a lot of state agencies and a lot of
18 our best scientists on looking at the impacts of climate
19 change on California, particularly on our energy system.

20 One of the things we're looking at today is a
21 piece of that, which is how that affects the utility
22 system, and the needs in terms of adaptation and
23 resilience, particularly in the fire area. Not
24 surprisingly, we found that was one of the major impacts of
25 climate change.

1 So it's a good opportunity to connect the science
2 to the PUC's more on the ground, trying to deal with the
3 reality along with the other state agencies. So, again,
4 this is going to be a very interesting conversation today,
5 but just really starting the conversation on the Fourth
6 Assessment.

7 So we have -- Ken? Keali'i?

8 EXECUTIVE DIRECTOR ALEX: Go ahead. Why don't
9 you start.

10 DEPUTY SECRETARY BRIGHT: We're trying to figure
11 out who goes first.

12 So my name is Keali'i Bright. I'm here in place
13 of Secretary Laird from the Natural Resources Agency, and,
14 you know, I guess all I wanted to say was, I just wanted to
15 recognize the significance of a meeting like this, because
16 we spend a lot of time -- everyone in this room spends a
17 lot of time putting together reports and studies and press
18 releases, and, you know, we're all trying to grab attention
19 around these issues, and really raise awareness about
20 climate change and the impacts that we are experiencing and
21 that we see in our science, that we will continue -- that
22 we will experience in the future, and this is really
23 where -- you know, what we're all working towards, which is
24 where these findings turn into policy and change and real
25 action on the ground. So this is a commendable opportunity

1 to convert that knowledge into something real and
2 beneficial to the public.

3 EXECUTIVE DIRECTOR ALEX: Good morning. I'm Ken
4 Alex. I'm the Director of the Governor's Office of
5 Planning and Research. I want to thank Chair Weisenmiller
6 and Guido Franco in particular for the emphasis of the
7 Fourth Climate Assessment on adaptation and resilience, and
8 for working very extensively, cooperatively with many state
9 agencies, but OPR in particular.

10 OPR, along with the Natural Resources Agency, has
11 specific statutory duties now around adaptation and
12 resilience, and if you go to the OPR web site, you'll see
13 very shortly, by the end of the month, we'll have our full
14 web site on adaptation and resilience, a clearinghouse
15 particularly aimed at resources for local governments.

16 We work quite extensively with a group of local
17 governments under the rubric "ARCA," and I can never
18 remember what that means, but there will be some discussion
19 of it later in the program today, in the afternoon, but
20 these are regional groups that look at the impacts and the
21 need for adaptation and resilience throughout the state,
22 and, you know, it's very different in the Sierras than it
23 is along the coast. So it's important that we look at
24 these things regionally, although both places, as we are
25 seeing very dramatically, have real fire impacts.

1 In addition, OPR has been working with Department
2 of Finance and many other state agencies to build
3 resilience and adaptation into all major decisions and
4 investments that the state is making, and that's now part
5 of policy, and there are a series of other things that OPR
6 is doing. There's probably not time to go into a lot of
7 detail.

8 I do want to mention one thing, however. In
9 conjunction with the Resources Agency and CalEPA and other
10 state agencies, OES, along with Tuolumne County and the
11 U.S. Forest Service, we received a \$70,000,000 grant from
12 the federal government to work on resilience and adaptation
13 after the Rim Fire, which is now three years ago, and is on
14 the southern end of Yosemite. Now we're going to have the
15 Ferguson Fire -- sorry, the northern end of Yosemite. Now
16 we have the Ferguson fire on the southern end.

17 The focus of that is to bring back the forest and
18 the community in a resilient way, and to look at how we
19 finance. One of the biggest questions in resilience and
20 adaptation is, how do we figure out ways to finance the
21 effort, which we know is one of the biggest barriers?

22 At any rate, the Fourth Assessment has a very big
23 focus on resilience and adaptation, very much appreciated,
24 and I'm looking forward to the panels this morning. Thank
25 you.

1 COMMISSIONER MCALLISTER: Just quickly, I'm
2 Andrew McAllister, a Commissioner at the Energy Commission.

3 This is a wonderful opportunity, as Keali'i said,
4 to sort of knit together our various policies and
5 understand how, you know, the puzzle fits together, because
6 we're just all doing a dazzling array of initiatives that
7 all, broadly speaking, are, you know, aligned with our
8 policies goals in the state, and with energy systems, you
9 know, land use, all the way across the board, you know,
10 fire response, emergencies, forecasting, you know,
11 buildings.

12 It gets overwhelming if you try to, you know,
13 keep it all in your head at once, and I think having sort
14 of a well-oiled machine, as well-oiled as possible, that
15 coordinates this, you know, broad array of efforts is
16 really key, and so this is one piece of doing that in the
17 state, so we can all kind of keep each other up to date at
18 a high level, and make sure that we're listening to
19 stakeholders that can point out things that we can do
20 better, or, you know, suggest initiatives that might
21 complement what we're already doing.

22 So adaptation and resiliency is sort of an
23 implicit part of much of what we do, but I think making it
24 more explicit and coordinated, and really understanding all
25 the efforts that are happening, is a great sort of basis

1 for everything that we do going forward. So I'm really
2 happy to be here today.

3 COMMISSIONER HOCHSCHILD: Good morning. I'm
4 David Hochschild here at the Energy Commission. I'm the
5 lead for the IEPR this year, and obviously the air above us
6 for the last few weeks is sort of all we need to know,
7 because this prospect of entering an era of permanent fire
8 is very real, and does change the game on how we ought to
9 be thinking about our priorities. So I'm happy to be here
10 and be engaged in the discussion today.

11 COMMISSIONER DOUGLAS: Likewise. Karen Douglas,
12 California Energy Commission. You know, we've been working
13 on and thinking through adaptation and resilience in the
14 electricity sector for a long time, and I think what we're
15 seeing now is that, as much as we have been thinking and
16 planning and trying to get ahead of the curve, the world is
17 moving faster than we are, and the focus we have today is
18 really essential, and this takes all of us working
19 together.

20 We're actually really good at collaboration and
21 innovation and finding solutions here in California, and
22 we're going to need to be, because these issues are going
23 to be hard, and they are hard. So I really appreciate
24 everyone's participation today, and look forward to
25 continued work together going forward.

1 CHIEF OF STAFF PETERSON: Good morning. My name
2 is Rachel Peterson. I'm the Chief of Staff for
3 Commissioner Liane Randolph of the California Public
4 Utilities Commission. I'm a stand-in for her today, and I
5 want to start by saying she very much wished and planned to
6 be here today, but a major oral argument is occurring at
7 the Commission that she needs to attend.

8 So I just wanted to mention some of the climate
9 change adaptation activities that the CPUC is undertaking
10 right now. As many of you know, we just opened significant
11 new rulemaking to establish frameworks and guidance for
12 electric, gas, telecommunications, and water utilities to
13 think about how they can incorporate climate change and
14 adaptation into their long-term infrastructure investments,
15 and to that end, it is a collaboration already with the CEC
16 staff, and we're holding our first workshop ourselves next
17 Monday at the Commission to start taking a look at the
18 Cal-Adapt tool and the data that's going into it.

19 We're very excited about all the new science
20 that's being rolled out and published this month, and we'll
21 be looking at guidance and frameworks and definitions for
22 the utilities, when they submit their general rate cases to
23 us, to think about how their infrastructure can be
24 resilient and adaptable in the face of wildfires, wildfire
25 risk, sea level rise, severe weather, heat storms, et

1 cetera, and you're going to hear more about that from our
2 staff this afternoon.

3 Kind of closer to the present, sort of along the
4 lines of kind of raising public awareness, we've passed a
5 couple of resolutions recently that address what utilities
6 can do right now. The Commissioners just approved a
7 resolution that extends some de-energization standards to
8 all electric utilities.

9 These were established after the 2007 wildfire
10 seasons for San Diego Gas and Electric, but now the
11 Commissioners just approved a set of standards for all
12 electric utilities to de-energize their lines when public
13 safety is at stake. They have pretty hefty public
14 notification and mitigation requirements attached to them,
15 but it is a step that the Commissioners felt was necessary.

16 Then, last, there's some consumer protection
17 steps that the Commissioners are taking. There were two
18 emergency resolutions that they passed last fall after the
19 wildfire season to ensure that consumers are protected when
20 the declared disaster did something to their utility
21 services, things like requiring the utilities to forego a
22 deposit to reconnect utility service. Something as simple
23 as that can make a really big difference for the public,
24 and so those were a couple of emergency resolutions, and
25 President Picker is now in charge of a new rulemaking to

1 examine whether to make those kind of protections permanent
2 for all utilities across California.

3 So thank you, Chair Weisenmiller, for putting
4 today together, and I'm very excited to be here. Thank
5 you.

6 MS. RAITT: So I'm moving on to our first panel,
7 on risk management for natural and working lands, and David
8 Stoms from the Energy Commission is the moderator.

9 MR. STOMS: Good morning, everyone, and good
10 morning to the audience. As was mentioned a couple of
11 times, wildfire is one of those cross-cutting issues that
12 affects almost every sector of California, including
13 natural and working lands, which is the focus of our first
14 session this morning.

15 These lands are essential for California's
16 economy, our ecosystem services, and the quality of life,
17 more generally, and wildfire is a natural and very
18 important ecological process in those lands, but, as
19 Commissioner Hochschild mentioned, you just have to look at
20 the sky to realize how that's changing so dramatically, and
21 including the impact as those fires spread from the natural
22 and working lands into the built environment.

23 The state also depends on those natural and
24 working lands to sequester carbon, as part of our climate
25 strategies, but these large fires also are emitting very

1 large pulses of greenhouse gas emissions. So today our
2 panelists, we are going to hear from -- some folks from
3 state agencies and the U.S. Forest Service about what's
4 being done, and what we're doing in terms of assessing the
5 wildfire risk, and how to manage that risk.

6 Our first speaker, then, will be Chris Keithley
7 from CAL FIRE, and, Chris, I'll let you and those speakers
8 introduce themselves.

9 MR. KEITHLEY: Thank you, David, and thank you to
10 the audience. My name is Chris Keithley. I'm the chief
11 for CAL FIRE's Fire and Resource Assessment Program.

12 I'd just like to take a moment, also, to
13 recognize the hardship that many people in communities are
14 going through during the severe wildfire episodes that
15 we've had. I certainly hope, with the slight moderate
16 temperatures we've having over the next few days, that
17 we'll get a better handle on some of the active fires that
18 we're facing, but, you know, I'd just like to express my
19 sympathy to the people who are going through that.

20 Thank you for bringing this panel together. The
21 Assessment Program that I manage, we provide a periodic
22 report on environmental conditions on forest and range
23 lands. The slide that you're seeing is our assessment
24 report. We're hoping to release it publicly by the end of
25 this week, and it has within it both a chapter on wildfire

1 issues and also renewable energy, which the Energy
2 Commission staff, Holly, David and others, helped review
3 that, and refined that chapter to its betterment, much
4 appreciated there.

5 Just a couple slides that are embedded within
6 that report, in the wildfire chapter. We collect, really,
7 pretty comprehensive information on wildfire activity, and
8 the slide on the left, the fire return interval departure,
9 you wouldn't think it, given the extensive wildfire
10 activity we've had this summer, but there still are large
11 portions of our forested landscape that have a deficit of
12 fire, and those are shown in the colors on this map, where
13 they're darker blue.

14 Others are areas that missed fire cycles, and,
15 correspondingly, in the southern part of the state, we have
16 areas, largely in chaparral, that have been burning more
17 frequently than historically would be thought normal. Then
18 the other slide there, of course, shows fire activity, and
19 it's increasing with each decade.

20 Just a couple other slides. Here we also keep
21 track of the effect of wildfire on our built environment,
22 and number of structures lost, unfortunately, as part of
23 that, and it's increasing. The bar graph on the left shows
24 that.

25 The other bar chart, we do collect information on

1 the burn severity. So, if you think about what portions of
2 a wildfire burned at either low or moderate or high
3 severity, our information on this goes back into the 1980s,
4 and there doesn't appear to be a starkly increasing trend
5 in severity, but since our data collection in the 1980s,
6 the proportion of fire that we are seeing in the
7 higher-severity classes is well beyond the historic norm or
8 expected range.

9 The expected range is somewhere between maybe
10 five to 15 percent, and we're seeing more like a third of
11 the area, 25 percent to a third of the area, being in
12 higher-severity burn classes. There certainly are
13 implications both to the built environment and the
14 ecological effects of that.

15 Let's see. These are also just looking within --
16 this one does show, actually, the structures that are lost,
17 and the community planning that we're doing across the
18 state. California actually does have very active local
19 community groups for fire-wise communities, and that
20 certainly is something that -- as we learn to try to live
21 and adapt with fire, making better use of those local
22 planning programs will be essential.

23 Well, that's all the slides I have, but I would
24 like to make one comment. I think Ken made a very nice
25 observation about regional differences that appear in the

1 state, and one comment he made was about bringing back the
2 forest, but, when we look across the south Sierra, at least
3 in our assessment report here, based on the forecasted
4 climate that comes out of this Fourth Climate Assessment,
5 we expect to see a loss of commercial timberlands across
6 the south Sierra, maybe up to a million acres, a fairly
7 substantial portion.

8 I bring that up partly in that, as we bring back
9 the forest, the question that follows that is, you know,
10 what will the composition of that forest be? What that is
11 showing in our assessment is that there's large acres of
12 forest land that may not have a suitable climate in the
13 coming decades for conifer species. As we plan to restore
14 that area, we might have to have a different vision of what
15 type of forest can be supported in this community.

16 A couple other things I'd like to mention, just
17 briefly, is some of the efforts that CAL FIRE is
18 undertaking. We are starting dedicated prescribed burn
19 crews to increase the pace and scale of prescribed burning.

20 The program that I manage, FRAP, is beginning to
21 develop monitoring for prescribed burning, so looking at
22 what the effect of -- both ecological effect and what the
23 carbon dynamics are, by monitoring both before and after a
24 prescribed burning, and we're starting to develop that
25 program with this.

1 Another thing we're starting to look at is, we're
2 currently recruiting a position in my program to hire,
3 really, a climatologist with expertise in fire weather, to
4 get a better handle. We're definitely seeing a lot of
5 wind-driven fires, and we're trying to build our capacity.
6 We hope with that position we can work more closely with
7 the utilities and the Energy Commission on areas that cross
8 that. And with that, I will --

9 MR. STOMS: Any questions before we move to our
10 next speaker?

11 CHAIRMAN WEISENMILLER: Yes, actually a couple
12 questions for both of you. First one for you, David, is,
13 do we have a sense of how much we -- I mean, obviously,
14 we've always viewed the forest more as a sink. So, at this
15 point, the concern is, is it a source? Do we have a sense
16 of how much in, say, 2017, greenhouse gas emissions or
17 criteria pollutants keep in the fires, and what that means,
18 generally, for us?

19 MR. STOMS: I don't have those numbers handy. I
20 can't remember if the ARB inventory includes fires or not.

21 CHAIRMAN WEISENMILLER: Chris?

22 MR. KEITHLEY: ARB does estimate it. I don't
23 know it off the top of my head. It will be a substantial
24 number. But I would also encourage you to look at --
25 within the Board of Forestry, we have an AB1504 report that

1 estimates carbon sinks from field-based forest inventory
2 data, and that report is updated annually. It currently
3 does show forest retaining a sink of carbon, but you're
4 right in that the emissions from wildfire is substantial,
5 and in a year like this, a very active wildfire year, it
6 will be dramatically high.

7 I guess that I would posit that it's hard to look
8 at -- there's such great interannual variability that it's
9 hard to take one year as being the definitive signal. From
10 my familiarity with the scientific data in that area, it
11 does vary quite a bit from year to year as well, but I
12 guess I would point out that we still do have various --
13 our field-based inventory data does suggest forest still
14 operating as a sink, and not a source.

15 EXECUTIVE DIRECTOR ALEX: I might note that this
16 is an issue that the governor has raised on a number of
17 occasions, and the ARB numbers have, in each of the past
18 few years, been too low. Their estimate has been too low,
19 and they've had to change it, and right now, at least, the
20 fire numbers have overtaken the sink. So I know the
21 Resources Agency -- maybe Keali'i will comment -- is
22 working on an overall program on inventories and how we
23 respond to that as well.

24 DEPUTY SECRETARY BRIGHT: I mean, I guess I would
25 first comment on the 1504 report, because one of the

1 challenges is measuring the carbon. You know, like Chris
2 said, it changes so frequently, and the way that the
3 process is set up for 1504 is that it measures over a
4 10-year, I think -- let me know if I get this wrong, but it
5 measures certain pieces of the forest over a 10-year
6 period, and then pulls that information together to give us
7 a "This is the state of the forest now" picture, and what's
8 really needed is a more real-time analysis to understand
9 that question because, over 10 years, we've seen the forest
10 conditions change considerably.

11 Additionally, we're working at the Natural
12 Resources Agency on a model, as folks at the table know,
13 but folks in the room may not, first on a model that can be
14 used to forecast carbon sequestration and emissions over
15 time on the natural and working lands, taking into account
16 climate change impacts.

17 So that model will provide us with kind of a
18 policy-framing tool to understand how our actions impact
19 the forest, but then, alongside of that, we're using that
20 model to frame a program around reaching a carbon
21 sequestration goal that is included in the state Scoping
22 Plan, preliminarily set right now at a 15- to
23 20,000,000-metric-ton cumulative goal for 2030, but the
24 real horizon line is ensuring that we're managing our
25 natural and working lands to be climate-resilient carbon

1 sinks, because I think we can claim "carbon sink," but we
2 want to make sure that carbon sink is actually resilient
3 over time.

4 CHAIRMAN WEISENMILLER: That's good. You know, I
5 was going to say, certainly, if we can get anything in the
6 record on what the numbers have been, the annual variation,
7 that would help.

8 I guess, Chris, my questions for you were -- you
9 know, thanking you for being here, but, obviously, you've
10 got how many people out in the field now today fighting
11 fires?

12 MR. KEITHLEY: It's definitely in the thousands.

13 CHAIRMAN WEISENMILLER: Yes. I mean, so
14 certainly all of us, you know, sort of applaud their
15 efforts.

16 One thing I think all of us are struggling with
17 as we go forward is, California has a lot of diversity, so,
18 on the one hand, you have the Sierras. On the other hand,
19 you have a lot of this urban-rural interface, and, you
20 know, particularly, one of the scary parts about the fires
21 at this stage is in that urban-rural interface, and it
22 seems like we have to be thinking of different approaches
23 for those two areas, on the adaptation and resilience and,
24 obviously, firefighting.

25 MR. KEITHLEY: Yes, I would agree that we are

1 seeing wildfires, you know, in that WUI interface area, and
2 it will continue to be a complicated issue. It involves
3 both land-use planning, it involves vegetation clearance
4 around homes, looking at, you know, building material and
5 structures used in homes.

6 So it's a multifaceted problem, but there are, I
7 would say, within -- CAL FIRE currently has a grant program
8 through the Climate Change Investment Program that is
9 providing at least hundreds of grants specifically targeted
10 at the WUI area to promote more firesafe communities
11 through vegetation clearance actions as well, but I would
12 stress that the planning effort really needs to continue,
13 to build safer communities.

14 It's very likely that communities -- it's hard to
15 envision them being hardened to the extent that they'll
16 never be impacted by fire, and instead I think it's a
17 societal issue of looking at how we can live within a
18 fire-prone landscape, and what measures we can take to
19 realistically reduce that risk.

20 COMMISSIONER DOUGLAS: So I have a question for
21 Chris. I'm just looking at the graph you put up on
22 indicators, you know, burned area by vegetation type and
23 burn severity, and, you know, the really striking pattern
24 here that is easy to see is the risk -- you know, the
25 acreage numbers, acres burned, going up for evergreens. I

1 mean, it's like this parabolic curve. You know, the other
2 ones, it's a little harder to see much pattern.

3 I was wondering, you know, if you could speak to
4 that in terms of, you know, what are some of the particular
5 issues? I know we've got the bark beetle. I know that
6 we've got some legacy of fire suppression. I know we've
7 got a whole set of issues around evergreens, climate
8 change, and the question of long term, whether some areas
9 will be suitable for certain kinds of trees.

10 MR. KEITHLEY: You kind of hit on all of them,
11 but I do think that, that increase into the forest
12 vegetation, it does, to a large extent, focus on kind of
13 the mid-elevation mixed-conifer belt, and those are areas
14 where the risks are increasing. If you looked at just
15 natural tree mortality over the last couple decades, it's
16 increased across that area. Certainly, in many of those
17 forest types, the stand density is too high.

18 But I liked what Ken said, honestly, earlier,
19 that you kind of need a regional focus. If you paint that
20 broadly across all forest types, there are so many
21 different ecosystems in California that it is hard to
22 generalize, but, for that particular graph, I do think it's
23 largely driven by that mixed-conifer belt.

24 CHIEF OF STAFF PETERSON: Chris, can you talk a
25 little bit more about the changes you're considering for

1 the prescribed burn program?

2 MR. KEITHLEY: Well, this came, I believe -- and
3 Russ probably will be able to elaborate a little more on
4 this, but through the governor's executive order that he
5 released earlier in the year, and calling for an expanded
6 use of prescribed burning, in response to that, CAL FIRE is
7 creating six dedicated burn crews. I believe each crew is
8 10 people, and those crews should allow us to expand our
9 use of prescribed burning.

10 There certainly are barriers to overcome in terms
11 of windows of opportunity to burn in, and education and
12 outreach is another piece of the executive order, in terms
13 of educating people on the use of prescribed fire. We need
14 to have better acceptance of that as a procedure.

15 I mentioned that we also will be introducing a
16 monitoring program along with it, and, in fact, ARB has
17 started working with us in putting air quality monitoring
18 on site for some of our initial burns that we've done.

19 EXECUTIVE DIRECTOR ALEX: Can I add a couple of
20 things? Building on your last point, I know there's
21 extensive discussions with ARB and some of the air
22 districts about, you know, there is a tradeoff here. The
23 prescribed burn has a short-term impact on air quality, but
24 if you can avoid what we're seeing this year, for example,
25 then you have a long-term gain.

1 So there's extensive discussions going on around
2 that, and for those interested in this issue, the
3 legislature is looking at SB 1260 as kind of an overall
4 approach to some of this, and there will, I'm sure, be more
5 hearings and work on that, and worth following if you're
6 interested.

7 MR. KEITHLEY: If I could also elaborate a little
8 bit on it, I think, as those crews start to implement their
9 program, we'll get better and more effective at doing these
10 burns. It's actually -- there is a lot in terms of
11 conducting an effective burn and a quality -- like, the
12 prescribed burns you do in the WUI area are much different
13 than if you're in more natural landscape, the type of
14 techniques you use and the considerations that come into
15 it. I think, as these crews get established, they'll
16 become better and better at doing it, both to make
17 communities safer and to try to reach ecological goals and
18 benefits as well.

19 MR. STOMS: Okay. Thank you, Chris.

20 Our next speaker is Russ Henly from the
21 California Natural Resources Agency.

22 MR. HENLY: Good morning. I'm Russ Henly. I'm
23 the Assistant Secretary of Forest Resources Management at
24 the California Natural Resources Agency, and today I'll be
25 focusing on the California Forest Carbon Plan, and a number

1 of elements relating to implementing that plan.

2 So the Forest Carbon Plan is very much about
3 climate adaptation and mitigation. For forests, adaptation
4 and mitigation go hand in hand, since these are active
5 sinks of carbon, and along with this, as Chris has
6 indicated, the work we're talking about is very important
7 for reducing the threats of wildfire across these
8 landscapes, both for our natural resource benefit,
9 ecological benefits, as well as for the human
10 infrastructure that is embedded within these landscapes,
11 including, of course, utility structure. Switch. Great.

12 So I'll just correct one factual thing. It was
13 the 2014 Climate Scoping Plan that called for the Forest
14 Carbon Plan to be developed, and so it was put together by
15 the Fourth Carbon Action Team, which was led by CAL FIRE,
16 the Natural Resources Agency, CalEPA, and the Air Resources
17 Board, with many members from state and federal agencies.
18 The Forest Service was a major participant in FCAT, in
19 working in developing the Forest Carbon Plan, with the
20 Forest Service managing, responsible for the bulk of the
21 forest lands in the state, and they're a very important
22 partner in this work.

23 So the plan focuses on actions to achieve
24 healthy, resilient forests that are better adapted to our
25 changing climate, including the fire risks that we are

1 facing and seeing very much today. It seeks to protect and
2 enhance forest carbon and other resource benefits, and, as
3 Chris also mentioned, we're looking at a significantly
4 increasing the pace and scale of forest and watershed
5 health improvements on federal land and nonfederal forests
6 as well. This includes thinning, fuel breaks, fuel
7 reduction activities.

8 Prescribed fire has had a lot of attention here
9 today. As Chris has indicated, our forests are --
10 ecosystems are naturally adapted to fire, and returning
11 that fire process to our forest landscape is very important
12 for both ecological reasons and human reasons, and
13 activities also include sustainable commercial timber
14 harvest as a means of treating and maintaining these forest
15 lands in healthy, resilient conditions.

16 We also discussed the need prevent conversion of
17 forest lands to other uses, particularly those that tend to
18 be carbon-emitting, greenhouse gas-emitting uses, and we
19 looked at innovating solutions for wood products and
20 biomass use, recognizing in particular that long-lasting
21 wood products is a form of carbon sequestration.

22 To do this work, the report very much focuses on
23 working collaboratively at a landscape or watershed-level
24 scale. We need to work at this scale just because of the
25 scope of the problem we have to address, and working at

1 this scale also helps to regionalize the problem. As Chair
2 Weisenmiller indicated, we do have a lot of both ecological
3 and social variability across the state for our forest
4 land, so we need to be organizing to do this work on a
5 regional basis, so that our social institutions as well as
6 our technical methods for doing this work are appropriate
7 to where we are.

8 So one of the elements for -- the Forest Carbon
9 Plan that was released by the governor's office in May, and
10 along with it came a number of things, including the
11 governor's Executive Order B-52-18, and in concert with the
12 Forest Carbon Plan, this identifies the forest management
13 threats and needs to support implementation of the Forest
14 Carbon Plan. It calls for a doubling of forest improvement
15 treatments on nonfederal lands from 250,000 acres a year to
16 500,000 acres a year.

17 It seeks to reduce the regulatory barriers to
18 prescribed fire and other forest improvement activities,
19 already has been mentioned some of the air quality
20 permitting issues for prescribed fire, for example. It
21 supports wood product innovation, include a joint institute
22 for wood products innovation that would be led by the Board
23 of Forestry and Fire Protection, and it requests the
24 Utilities Commission to review and update its procurement
25 program for small renewable energy bioenergy generators.

1 Again, along with the EO and the Forest Carbon
2 Plan, the governor released a revised budget proposal to
3 help support this work. As Chris indicated, one of the
4 important elements of that is the six prescribed fire crews
5 at CAL FIRE.

6 CAL FIRE certainly has experience with prescribed
7 fire and other fuels management work, but increasingly
8 they've been limited, with their current staffing, to do
9 that work, because our fire season has gotten so long, you
10 know, virtually year-round in Southern California and other
11 places.

12 So what was once an off-season activity for these
13 crews, these staff, since there's no off-season anymore,
14 they have fewer and fewer opportunities to do this kind of
15 work. So, by having these dedicated prescribed fire crews,
16 who will not be dispatched for fire suppression, CAL FIRE
17 will be able to maintain higher levels of accomplishment
18 with that work.

19 The May revised proposal also included
20 \$50,000,000 in Prop 68 and California Climate Investment
21 funds to support collaborative landscape-level forest
22 sequestration projects throughout the state. It provides
23 \$15,000,000 in Prop 68 funds to state parks for forest
24 restoration work, and, finally, several million dollars to
25 support work in the forest products innovation area.

1 As Chris indicated, CAL FIRE has had substantial
2 funding, California Climate Investments funding, to support
3 forest health projects, fuels treatment, firebreak
4 projects, \$220,000,000 last year, \$160,000,000 in the
5 current fiscal year, so clearly some very substantial
6 resources to bring to work, and CAL FIRE is putting that
7 work across the entire forest landscape, including
8 activities on federal lands, because we recognize that we
9 need to take care of all these forest lands across the
10 state, because they all fit together both ecosystem-wise
11 and socially.

12 Then the final piece that I want to mention is
13 the governor's Forest Management Task Force. This is
14 established to help guide Forest Carbon Plan
15 implementation, address barriers that may arise, and
16 address our forest management/forest health issues
17 generally. The governor first called this out in his
18 January State of The State Address, and the state has
19 now -- governor's office has now morphed the Tree Mortality
20 Task Force into the more broad-based Forest Carbon Plan
21 goals.

22 You know, I want to recognize that utilities were
23 major participants with the Tree Mortality Task Force,
24 given the hazards created by all these dead trees for
25 powerlines and other utility infrastructures, so they've

1 been really major players in the way they have stepped up,
2 really going above and beyond what their nominal
3 responsibilities might be to address these issues. So I
4 think they deserve recognition for that.

5 The Forest Management Task Force is led by the
6 governor's office, the Resources Agency, CalEPA, and CAL
7 FIRE, and has broad composition of state, federal, and
8 local government members. Underneath it is a collection of
9 10 working groups to address specific issues and regions of
10 the state, again coming back to that regional issue,
11 regional difference issue, plus it will be putting together
12 a science advisory panel. The group had its first meeting
13 on June 11th, and its next meeting is scheduled for August
14 the 13th, and they will be meeting monthly.

15 Then, finally, before I wrap up, I just wanted to
16 note some recently initiated engagement with PG&E as
17 related to their new Community Wildfire Safety Program, and
18 this is related to their proposals to substantially expand
19 the kinds of vegetation clearance they're doing along their
20 powerlines in forested Tier 3 areas, and one of the roles I
21 play at the Resources Agency is coordinating policy and
22 program work related to forest management across CAL FIRE,
23 both state water boards, Department of Fish and Wildlife,
24 and Department of Conservation.

25 So I've reached out to PG&E so that we can learn

1 more about this program, and engage with them to discuss
2 how we can work with them collaboratively and effectively
3 to deal with permitting and resource protection issues
4 related to this new enhanced work. So we have a meeting
5 set up at the end of the month for that, and looking
6 forward to that opportunity to work with PG&E on that.

7 That concludes my comments. I'd be happy to take
8 questions.

9 CHAIRMAN WEISENMILLER: I guess I'm going to ask
10 the proverbial question of, you know, at least at this
11 point, how much are we spending on fighting fires versus
12 forest restoration? It seemed we've had a substantial
13 increase, but it's probably good to get the sort of numbers
14 out for people.

15 MR. HENLY: Yes. I don't have those numbers off
16 the top of my head, but clearly there are expenditures for
17 fire suppression, and when you add in the damages and costs
18 and losses related to that, you're certainly talking
19 multiple orders of magnitude and differences between those
20 expenditures.

21 So, again, I'm really pleased with the way the
22 state has been stepping up to fund this work, particularly
23 the California Climate Investments funding that's been
24 coming forward, CAL FIRE and other places, enhanced funding
25 coming through Prop 68 to do this kind of work.

1 The Forest Service has been rather hamstrung to
2 do this work because of the so-called "fire borrowing"
3 problem that they've had as a part of their budgets, where
4 financial resources they have to do this kind of work ends
5 up getting pushed towards their substantial costs for fire
6 suppression. But there has been a budget fix that is going
7 to help address that over time, so, hopefully, they will
8 have more of their own funds to put to work on the ground
9 to do this.

10 So things are definitely looking up, but,
11 obviously, you could spend a whole heck of a lot more on
12 this than what is cued up right now. But, again, I think
13 we are moving forward with some very substantial
14 investments. Hopefully, they can be sustained over time,
15 and that will make a difference.

16 CHAIRMAN WEISENMILLER: That's good. Just so you
17 know, we had invited Terry O'Brien to be here today, the
18 governor's new appointee in this area, but he's not
19 available. I'd certainly encourage folks generally
20 interested in this area to connect with Terry.

21 COMMISSIONER DOUGLAS: You know, I have a quick
22 question, and it's probably better addressed to a panel
23 later in the day, but, in terms of resources that we're
24 making available to communities to reduce their fire risk
25 and increase their resiliency, you know, it seems to me

1 that there are always outreach challenges in terms of
2 getting community engagement, you know, and I have spent a
3 lot of time talking to Native American tribes. They're
4 major players in public services in a lot of our rural
5 areas.

6 We've had meetings and met with people in
7 unincorporated rural communities where, you know, they
8 don't have an incorporated government, necessarily, a city
9 government that can even apply for a grant, or someone
10 who's necessarily in charge to be the one to apply for a
11 grant, unless there's a network through the county or some
12 other network.

13 So I'm sure that there are people, you know,
14 working on this, and figuring out the outreach, and then,
15 of course, there's the challenge of the almost inevitable
16 siloing of funding, because different agencies have
17 different resources available, and there are certain
18 eligibility criteria, and, you know, you can fund one thing
19 and not another. So, you know, how do we bring this all
20 together so that the people on the ground who have good
21 projects that we would like to be able to fund are able to
22 take advantage of the resources that we want to make
23 available?

24 MR. HENLY: That's a great question, because
25 there definitely are some challenges in these areas, and it

1 varies throughout the state in terms of the level of, call
2 it, institutional capacity to pull together, coordinate
3 this landscape-level collaboration at the large scale. In
4 some areas in the Sierra Nevada, you know, I think we're in
5 great shape, with the Sierra Nevada Conservancy.

6 The state agency that covers that whole realm,
7 the Forest Service, which is responsible for management of
8 a substantial portion of that area, works very closely on
9 this. The Watershed Improvement Program that the Sierra
10 Nevada Conservancy and the Forest Service jointly work on
11 is very much focused on doing these kinds of things to
12 bring the resources, bring the people together to work at
13 this landscape level, using both funding that the Sierra
14 Nevada Conservancy has, getting grants through the Forest
15 Health Program that CAL FIRE has, and things like that.

16 So things in the Sierra Nevada are in great
17 shape, and that can also provide the sort of structure
18 where you have agencies, entities like some of the tribes,
19 who might not be able to accept a grant themselves, who
20 need somebody to act as a fiduciary for them, having places
21 where that kind of support exists.

22 Other parts of the state, I think we're less well
23 set, institutionally, for that kind of work, and part of
24 the funding we got with that May revised proposal is
25 \$20,000,000 in grant funds to the Resources Agency to use

1 for establishing and building that capacity where it's
2 lacking. So, you know, what do we need in the North Coast,
3 what do we need in the Central Coast, Southern California,
4 et cetera, where there are existing entities that, with a
5 little bit of help, can pick this up and really run with
6 it?

7 I think there's some on the North Coast, for
8 example. Other areas, it may be a little more starting
9 from scratch, but we've got this funding available to help
10 get that momentum going, provide them some support for
11 planning the kind of work that needs to get done to address
12 these issues. So it's not all there right now, but we do
13 have some new resources to approach that.

14 COMMISSIONER DOUGLAS: So it's really encouraging
15 that you do have the resources to approach that, and that
16 you're thinking about approaching it, because I agree with
17 you that the institutional capacity, the ability to apply
18 for grants, hold grants, you know, administer, carry
19 through with them is just really different, and you've got
20 areas where there's just really nobody who can do it, and
21 you've got other areas that are pretty well situated.

22 You know, as we think about -- you know, we face
23 similar challenges, of course, in outreach for some of our
24 programs. Everybody does. So this may be an area to think
25 about working together and leveraging some of our

1 collective capacity and outreach and so on, because it is
2 important that we find ways to cover the state more
3 broadly, especially the areas that really need this.

4 CHAIRMAN WEISENMILLER: I was just going to note
5 that, as part of the roll out of the Fourth Assessment in
6 October, as the Fourth Assessment, one of the biggest
7 advantages relative to the third is, the science has
8 progressed enough on downscaling that, instead of just
9 looking statewide at what's happening, it's much more
10 disaggregated.

11 So we're going to have 13 workshops throughout
12 the state in October, including, you know, one tribal, so
13 10 regions, one tribal, one environmental justice, but
14 basically allows us to really home in on some of these
15 areas.

16 We're, you know, dealing with diversity, as you
17 indicated, on the regionwide side, and use that to connect
18 local governments and CBOs to what they can do in each of
19 those areas. You know, it's pretty ambitious, what we're
20 trying to do on that, but I think it's really a significant
21 step forward to the science, allowing that disaggregation
22 to really take that to the people in the different areas
23 where the variation exists.

24 COMMISSIONER DOUGLAS: I think that's great, and
25 it's another example of an opportunity for synergy here, if

1 the Resources Agency is part of that, and we're, you know,
2 really kind of coordinating on this outreach and capacity
3 building, so that we're really providing that kind of
4 support.

5 DEPUTY SECRETARY BRIGHT: Yes, and I'll just
6 underscore, you know, the regional groups of the task force
7 are meant be like the, like, "get into the weeds and
8 develop the plans" phase. So I think coordinating into
9 that space as well is going to be essential for actually
10 getting plans in place to do the work that we need to do.

11 I wanted to take time to just really recognize
12 the importance of the Forest Carbon Plan, which is often --
13 I mean, I see it as a pretty poorly named document for what
14 it is, but really what it is, is the state's policy on how
15 we want to manage our forests, and from Russ's
16 presentation, you know, it started in 2014, and then was
17 finished in 2018, and that's a pretty clear indicator of
18 how challenging it is to come to consensus around these
19 types of issues. It should be recognized that the Forest
20 Carbon Plan was a product of 15 different -- I can't
21 remember the --

22 MR. HENLY: It was a lot.

23 DEPUTY SECRETARY BRIGHT: It was a lot.

24 MR. HENLY: Fifteen is probably in the right
25 range.

1 DEPUTY SECRETARY BRIGHT: Around 15 different
2 agencies, with different policy mandates and different
3 goals, and in the end of the day, they were able to reach
4 consensus around the recommendations and the findings, and
5 that really set the stage for the success we experienced in
6 the budget process this year, going for cap-and-trade
7 funds, but it was also released on the back end of multiple
8 other reports from other organizations like the Little
9 Hoover Commission, the Legislative Analyst Office, Public
10 Policy Institute, that essentially were kind of coming out
11 with the same findings from different vantage points.

12 So the Forest Carbon Plan served to kind of
13 consolidate all of those findings, and really, you know,
14 we're one of the few states in the West Coast in kind of
15 the temperate forest realm that has this unified policy on
16 forests. So it's a pretty great example of California
17 leadership.

18 MR. STOMS: I just wanted to make a note of
19 another resource and capacity related to this issue of our
20 staff workshop last week on fire research needs. The
21 Office of Emergency Services presented about their program,
22 a hazard mitigation grant program, and they'd like to
23 expand more into wildfire hazard projects. They're
24 somewhat limited because it's FEMA funding, and so they're
25 somewhat limited currently in what they can fund, but they

1 were looking to the research programs to help make the case
2 for on-the-ground mitigation of fire hazards, and so
3 there's fairly substantial funding there, too, as well,
4 that could support local communities.

5 COMMISSIONER DOUGLAS: You know, it's really --
6 it really is -- there's so much opportunity to take action
7 here, you know. We'll hear later from the Blue Lake
8 Rancheria about the Ethic Project there that put solar in a
9 small microgrid on the gas station out there. We had a
10 couple people from Cal OES at the ribbon cutting. We had
11 people from the Red Cross.

12 They were really excited about it because, if the
13 gas station stays energized, you can still run the pumps
14 and the cash registers, and keep the food cold, and it's a
15 big deal to have that kind of resource in key areas, and so
16 they were pretty excited about it. So it's kind of another
17 example of how we can be creative and think about synergies
18 between our different programs.

19 MR. STOMS: All right. I guess we're ready for
20 our third and final speaker, then. For a federal
21 perspective, we have Jason Ko from the U.S. Forest Service.

22 MR. KO: Good morning. So yes, my name is Jason
23 Ko. I work in the State and Private Forestry Staff within
24 Forest Service, and I'm managing the Ecosystem Service and
25 Climate Change Programs, so I do a lot of work with state

1 and private partners on those two topics, and some of the
2 things I'll talk about today will be focusing on those
3 program areas, but I also have some notes from other staff
4 areas.

5 Even though we're all focusing on one, you know,
6 particular segment here, as someone mentioned, this cuts
7 across a lot of different areas, and there's discussion
8 like, you know, "What would be the most useful person we
9 could provide here from, you know, fire staff to program
10 staff to policy?" And the fire in the state made that
11 decision for us, as well as the impending fire borrow
12 situation coming up, probably, in the next two weeks. So
13 those are very real situations that we are facing.

14 I also wanted to also -- it was mentioned in our
15 meeting earlier this week, and I thought it was really
16 interesting and telling of the situation that we are
17 facing, is that I think, nationally, any given moment in
18 kind of the throes of fire seasons, we have about 10 to
19 12,000 staff -- that's cross-agencies -- fighting fires,
20 and I think earlier this week we had about 30. So, you
21 know, every year we are seeing new thresholds crossed.

22 So, saying that, I think, you know, we've touched
23 a lot on kind of the challenges we are facing with climate
24 changes in terms of disturbances. You know, at Forest
25 Service, we recognize that, you know, climate change, and

1 shifting hydrology patterns, and the increasingly dense and
2 unhealthy forest that we have, combined with the growing
3 populations, are major challenges that we need to address,
4 and so focusing on ecological resilience and restoring our
5 forest and that resilience is kind of the over-arching
6 goal.

7 We do have ambitious goals to work towards that,
8 but, as others have alluded to, we have constraints that we
9 are faced with in terms of staffing and resources, and so I
10 think I feel very fortunate that our leadership here has
11 been very supportive of moving towards new, innovative ways
12 to addressing and moving towards those goals, one of which,
13 I would say, is kind of looking at partnerships across
14 different ways, with new authorities, and maybe
15 reemphasizing older authorities that we haven't used as
16 much, to look at a tree in landscapes (sic) at an all-lands
17 level, so both federal, state, private, tribal, all lands
18 together, and, you know, larger landscape approaches really
19 are the way to approach, you know, making a larger forest
20 resilient against climate change and disturbances.

21 Some of those -- you know, I'll just mention, you
22 know, the Good Neighbor Authority is something that we are
23 continuing to learn how to use in California, where
24 basically the state can help scale treatment on federal
25 lands. So it's a one-way (indiscernible).

1 We also have the Stewardship Agreement or
2 Stewardship Authority, which has been traditionally applied
3 in contracting, but we are also doing more and more
4 stewardship agreements with partners, such as Tuolumne
5 County was mentioned earlier, on a lot of local
6 foundations, and our resource conservation districts as
7 well, to do treatments across lands, including federal
8 lands. And so, rather than the traditional model of Forest
9 Service doing work on federal lands, with federal money,
10 it's becoming much more all-encompassing.

11 This is a learning curve for us. There's a lot
12 of, you know, both legal, bureaucratic, cultural kind of
13 adjustments to make for, but we are moving in that
14 direction. We have support from our leadership, and in my
15 program, Ecosystems Services, it really is kind of -- it's
16 related because we are looking at trying to communicate,
17 both quantitatively and qualitatively, the benefits that
18 communities and downstream people in the state of
19 California and the region receive from Forest, not just
20 federal forests, but all forests.

21 So that, you know, includes carbon, water
22 benefits, as well as kind of value of recreation, and so
23 I'm trying to get those talking points out, trying to
24 strengthen and build partnerships around those, bringing
25 new partners, strengthening old partners, and bringing new

1 resources into approaching treatments across landscapes
2 through those ecosystem services.

3 A few things that I'll mention that we are
4 working on right now, kind of within this larger subject,
5 is, so, we are working on a number of different, I'd say,
6 pilot projects across the state, and trying to figure out
7 ways to bring new partners to the table, and new types of
8 financing, and, again, working outside of that model of
9 federal money, federal staff, federal land, and, you know,
10 in the Ecosystems Services Program, we try and follow and
11 support those, so I can talk about some of those in more
12 detail if you'd like.

13 In the next year, we are starting up a climate
14 change vulnerability assessment for infrastructure and
15 recreational resources on Forest Service lands. You know,
16 there's a lot more work and research done on the ecological
17 and biological vulnerabilities, and so we are trying to
18 crosswalk that over to some of the social programs, which
19 will include roads, you know, developed campsites, et
20 cetera.

21 I think, for utilities, some of those will be
22 very interesting, and it will be interesting to see if, you
23 know, there are ways we can collaborate with kind of the
24 Commission and other partners on, you know, making sure
25 that what we're doing is useful for us, and our internal

1 programs across these, but also for other partners. We're
2 coordinating with Caltrans, for example, and I think
3 they're doing some vulnerability studies on state highways,
4 and so, you know, trying to make it consistent on that.

5 Let's see. We have currently a national program
6 to work on NEPA, and on the efficiency of NEPA, and making
7 it more cost-effective and robust where it needs to be and
8 concise where it can be. That's an ongoing process that
9 I'm not involved with personally, but I think there are
10 some -- there's been a lot of good discussions and
11 recommendations made, and I think we'll probably do some
12 more public results, outcomes soon on that.

13 Let's see. Another thing that we are moving
14 towards currently is the "one region, one program of work"
15 idea, which some of you may have heard of. It's basically
16 trying to be more effective in how we use our limited
17 resources in the region across the state. So, rather than
18 having each national forest operate on their national
19 forest and we prioritize within that area, looking at
20 across a few groups of national forests, or zones, and
21 forest supervisors working together to prioritize and share
22 resources, prioritize projects and share resources, and
23 that's a new process for us.

24 Some more specific things towards utilities to
25 highlight. So we did have the recent, in 2016, the

1 emergency hazard tree and pole replacement permits that
2 were issued, and that were renewed in 2017 and 2018, to
3 expedite maintenance treatments along the corridors. The
4 staff that works on that said it's likely that it will not
5 be renewed in 2019. It does require some
6 emergency/extraordinary circumstances to be invoked.

7 I think PG&E and SoCal Edison will be aware of
8 the standardized operation of maintenance plans that we are
9 working on with them across 16 national forests. There's
10 18 in the state, so that excludes the Modoc climate, where
11 I don't think they have, maybe, consolidates interests, but
12 that's basically to kind of consolidate or combine a lot of
13 the different special use permits and easements that have
14 accumulated with new powerline corridors into kind of a
15 more cohesive standardized maintenance and operations plan.
16 So that will include everything from access to, you know,
17 hazard treatment processes and how to, you know, engage
18 with the forest service on that.

19 Lastly, and larger, far more widely applicable,
20 is the omnibus that was recently passed a few months ago.
21 There is language in that legislation that addresses veg
22 management along, you know, utility company corridors, and
23 we're still waiting for policy interpretation of that from
24 Forest Service leadership in Washington, D.C., so I can't
25 say what, exactly, that will mean for us specifically, but

1 there is the leadership intent to support -- you know,
2 facilitate, you know, maintenance of and expansion of the
3 vegetation treatments around the corridors.

4 So, with that, I guess, you know, I can take any
5 questions.

6 CHAIRMAN WEISENMILLER: Thanks for being here. A
7 couple questions. One of them is, we talked a little bit
8 earlier with Russ about sort of the split between
9 responding to fires and basically more, you know, getting
10 on the ground doing the restoration do reduce fire hazard,
11 and Russ alluded to prior budget problems for you there,
12 saying there's a fixed comment (sic), and I'm just trying
13 to understand, where are we at dealing with that issue?

14 MR. KO: So, yes, the fire fix. It won't happen
15 until 2020, and it does have limitations as well. It's not
16 an unlimited kind of fix. So, basically, as fire season
17 progresses, we have a certain amount of funding that's set
18 aside for suppression costs, and as depleted as it usually
19 is, we usually have to -- there's decisions made way above
20 me about what's taken for where to pay for those
21 suppression costs, and the fire fix that starts in 2020
22 basically increases that set amount of funding that's for
23 suppression based on, I think it was, a three- or four- or
24 five-year average, not including last year. Last year was
25 exceptional. Yes.

1 So it puts a higher level, but, like I said, it's
2 not an unlimited fix in terms of -- so, if we have a larger
3 year, there will still be a funding debt that will be
4 transferred to special costs, and just for perspective as
5 well, I believe California and Region 5, as we designate
6 it, accounts for about half of the fire budget nationally
7 for the Forest Service.

8 CHAIRMAN WEISENMILLER: Do you have an order of
9 magnitude for the overall budget?

10 MR. KO: Sorry?

11 CHAIRMAN WEISENMILLER: It's about half of --
12 what's the total?

13 MR. KO: I don't know that.

14 CHAIRMAN WEISENMILLER: That's fine.

15 MR. KO: Yes.

16 CHAIRMAN WEISENMILLER: No, I was going to say I
17 was at an event recently where someone was trying to argue
18 with Kip (phonetic) that the thing we should do is be
19 providing hundreds of millions of dollars to the Forest
20 Service to deal with that backlog of issues, and it was not
21 a very successful conversation, obviously, but trying to
22 understand the problem.

23 MR. ALEX: Kind of following up on that, do you
24 know the number of acres that are treated annually in
25 California on U.S. Forest Service land?

1 MR. KO: So our goal is to work towards 500,000
2 acres a year for restoration treatments. I should mention
3 that that does included managed wildfire for natural
4 resource benefit. On average, every year varies, largely a
5 lot because of that managed wildfire for natural resource
6 benefit aspect. On average, our treatments are about 150
7 to 250, on average, acres, or fuel reduction treatments,
8 and so we are well short of the 500,000. That's what we
9 consider conditional.

10 MR. ALEX: And when I used to do more work on
11 national forest issues, I remember there was a watershed
12 needs backlog as well. Does that still exist? Do you
13 still think kind of in terms of watershed areas and what's
14 needed for those?

15 MR. KO: Well, there is a -- what's it called? --
16 the watershed condition framework, which basically assesses
17 each watershed as to its relative state of degradation. So
18 there's a number of different ways that we assess, kind of,
19 and prioritize, and I think, you know, one of the
20 advantages, that I'm hoping, to the watershed improvement
21 program for us to work towards is helping us look at what
22 we have and what we need across the landscape to prioritize
23 what should be done for different benefits. There is also
24 a reforestation need, or kind of considered a gap or
25 something like that, that we are also behind on.

1 CHAIRMAN WEISENMILLER: I'm just going to ask a
2 question, a permitting question. I know, at one point in
3 the last year, I think it was PG&E had a (indiscernible)
4 trying to deal with a permit, and their concern was that,
5 to the extent they have transmission corridors and they saw
6 dangerous conditions, they were trying to get the permits
7 in a timely fashion, to actually go in and address those.
8 So I'm just trying to understand what you're doing now on
9 the permit, expediting permitting for that type of
10 transmission corridor issue.

11 MR. KO: So I believe that would be addressed in
12 the Standardized Operations and Maintenance Plan, and
13 that's one of the reason for, probably -- and all the PG&E
14 folks probably can speak to this better than I can -- is
15 that there was a lot of variability in how each forest, and
16 even on a forest -- for each line, how that process was
17 rolled out, due to kind of the multiple special use permit,
18 as we call them, for the corridors, or easements, and how
19 they kind of accumulated, because you would basically have
20 to get a new one each time a new line was set up, and so
21 there was basically a -- it was very confusing to -- you
22 know, it wasn't a standardized way. So the Standardized
23 Operation and Maintenance Plan will be consolidating those,
24 and we will address that, in addition to whatever comes
25 down from the omnibus.

1 CHAIRMAN WEISENMILLER: And when do you expect
2 the Standardized Operating Plan to be in place?

3 MR. KO: I don't know. I think it's fairly soon,
4 within the next year, I'd say. The first people I was
5 speaking with that were working on that were really far
6 along, I believe. It's a new -- it's definitely a
7 big -- it's a big beast for us, on undertaking
8 (indiscernible).

9 CHIEF OF STAFF PETERSON: And on that same note,
10 when would you expect the policy guidance to arrive?

11 MR. KO: Yes. I can't speculate when Washington,
12 D.C., will send that to us.

13 CHIEF OF STAFF PETERSON: Within a year?

14 MR. KO: Hopefully.

15 CHIEF OF STAFF PETERSON: All right. Thanks.

16 DEPUTY SECRETARY BRIGHT: So you mentioned
17 partnerships in your -- I think it was the opening of your
18 remarks, and one of the challenges that I've seen is that,
19 you know, we have a pretty good consensus around the types
20 of projects we want to do. We have a decent pipeline of
21 getting projects, you know, developed and thought through,
22 but then what we don't have -- and we brought this up in
23 Russ's presentation -- is we don't have robust funding to
24 fulfill all of these different landscape-level plans.

25 So I just wanted to get your insights into, what

1 have you experienced as being helpful, kind of, strategies
2 to bring in additional beneficiaries to this work? Because
3 there are many beneficiaries to forest health, but there
4 are very few, kind of, partners funding the work, and
5 that's always been a gap that I struggle to figure out how
6 to bridge.

7 MR. KO: Yes. I mean, and so it depends what
8 you're looking at. I feel like, in the carbon area, from
9 our perspective, there's a lot of money right now,
10 especially with the CCI initiatives, and I think, you know,
11 if that level continues, I think we're very soon going to
12 run out of NEPA ready projects that are competitive for
13 that based on federal lands.

14 From the water, kind of, benefits side, I think
15 that's a more difficult question. There's a number of
16 different, I think, pilot partnerships and discussions that
17 we're having around the states with utilities, with
18 communities, that I think are more easily engaged on when
19 there's a very much more direct connection, where the
20 community or the utility is directly below the watershed.
21 I think, in California, it's very complicated and complex,
22 you know, on how water is moved around and who benefits
23 from it, and so I think that's going to be more difficult
24 at a larger scale.

25 Going back to the discussion about capacity, I

1 think there's going to be a lot of interesting things that
2 come up in the next year or few years as we kind of move
3 away from this kind of, again, federal land, federal
4 funding, federal staff, in terms of how projects get done.
5 I do think there is a gap across the state in terms of
6 how -- being able to handle tens of millions of dollars,
7 and, you know, even if you're subcontracting or just
8 managing that, there's a gap, and I think a lot of
9 organizations that don't traditionally do that are looking
10 to scale up, which is good, but it's going to take time.

11 It's going to take time to build the trust and
12 the institutional capacity, and I think working across
13 lands, too, is also a complex subject in terms of -- I know
14 the El Dorado RCD, for example, that got a CCI or a GGRF
15 grant, first round, it took a long time for them to put
16 together 41 landowners to do, you know, the work, and that
17 was only like -- it was a very small amount of acreage,
18 relatively, but it's a lot of -- it takes a lot of
19 engagement to kind of do that. So I think there's a lot
20 of -- there's just going to be a lot of patience needed to
21 kind of build towards these, you know, multi-partner,
22 multi-landscape projects. I don't know if I answered your
23 question.

24 DEPUTY SECRETARY BRIGHT: Thank you.

25 MS. RAITT: If we don't have any more questions

1 for this panel, then we can go on to the next set of
2 speakers. I'd like to thank our panelists very much for
3 being here today.

4 Again, this is Heather Raitt from the Energy
5 Commission, and so next we have two presentations, staff
6 presentations, from the Energy Commission. The first one
7 is from Guido Franco, and this is an update on science and
8 technology.

9 MR. FRANCO: Good morning, everybody. Thank you
10 for this opportunity to give a brief presentation about the
11 (indiscernible) of California's Fourth Climate Change
12 Assessment on this topic, but, also, we're going to
13 summarize a staff workshop that Davis Thomas (phonetic)
14 organized last week, on July 25th, looking both the
15 research needs with respect to impacts of climate change to
16 the electricity system, but also how to reduce the
17 potential source of ignition from the electricity system in
18 creating wildfires.

19 David Erne is going to be -- he's going to talk
20 about the technology part. I'm going to talk -- my
21 presentation will be about, like, what I call the
22 "science." Okay. So the underlying presentation is, first
23 I want to talk about the wildfires and aerial stuff we use
24 for California's Fourth Climate Change Assessment. Then I
25 will briefly talk about some of the studies looking at

1 impacts of those scenarios, and then summarize some of the
2 main findings from the science -- from the July 25th
3 workshop, and then our vision of the future.

4 So, to start, the Fourth Assessment used a common
5 set of climate projections, how temperatures, precipitation
6 would change, et cetera, et cetera. We also used a common
7 set of land-use change projections, how urban areas will
8 grow and things like that, and those were developed by the
9 U.S. Geological Survey. That information was taken by
10 Professor Westerling. He developed a statistical model,
11 trained using thirty years of historical data on weather
12 conditions and wildfires, and the thirty-year period
13 ended -- and there's a mistake. It's not 2016. It's 2013.
14 Okay.

15 The bottom line is that, as you can see in the
16 maps in the bottom, is that wildfire risk will increase
17 substantially. So the maps show the areas burned in
18 three-year period. The first period is incorrect. It's
19 1961 to 1990. So, sorry about that. Yes. So the bottom
20 line is that, by the middle of the century, we will see the
21 number of acres burned will double, and the same thing will
22 happen, will double again, by the end of the century,
23 according to this model.

24 So one of the studies used the wildfire
25 projection, was a project by Lawrence Livermore National

1 Lab, looking at the potential impacts of wildfires to the
2 electricity infrastructure, mainly, transmission lines,
3 distribution lines, and the units associated with them.

4 I think the most interesting part of the study is
5 the historical analysis that the researchers did. So they
6 combined data sets from CAL FIRE, data sets from Cal ISO,
7 data from the CPUC, et cetera, et cetera, to look at the --
8 I think it's about the last 20 years -- how things has been
9 changing, what are the -- and the main finding -- well,
10 some of the finding was that only five percent of the
11 wildfires actually affect transmission and distribution
12 lines in California, but that even a tiny fraction of that
13 are the ones that actually cause most of the damages.

14 So there's a rich data set there that should be
15 exploited, and the combined damages from 2000 to 2016 -- so
16 it doesn't include 2017 -- is about \$700,000,000, but this
17 is just to the utilities, direct cost. This is not
18 potential liabilities or impacts and costs to others, like
19 homeowners, and the bottom line again is that, increased
20 wildfires will increase the risk of disruptions and damages
21 to the transmission and distribution lines in California.

22 The second study was a study that actually was
23 requested by the California Department of Insurance, and it
24 was conducted by Rand Corporation, and the Department of
25 Insurance wanted to know what would be the impact of

1 wildfires to the insurance market in areas that are prone
2 to fire, or they are exposed to fires.

3 To make it brief, the bottom line is that the
4 Rand Corporation found that the premiums for insurance will
5 go up by the middle of the century, 28 percent -- I mean,
6 18 percent, so it doesn't sound like a lot to me -- but
7 that also the uptake of insurance will go down, in part
8 because of the cost.

9 The next study has to do with the California
10 transportation fuel sector, namely, the petroleum sector,
11 because that's what we use mostly for transportation, is
12 petroleum-based products, and the study was conducted by
13 Professor Radke from UC Berkeley, so I think he did a
14 marvelous job.

15 So he used a holistic approach, so he first tried
16 to understand the transportation fuel sector as a system,
17 how its different parts are interconnected, how different
18 groups manage different parts of the system, how they
19 communicate, not only that, how the transportation fuel
20 sector is also connected to the electricity, natural gas,
21 and how cascading effects may materialize or impede rapid
22 action or adaptation options.

23 With respect to wildfire, his finding is that
24 refineries, antennas are not that exposed to wildfires,
25 and the main area of exposure for the transportation and

1 fuel sector are roads and railways, trains, I suppose,
2 railroads. So that's an area where you see the expectation
3 is to see increase of vulnerabilities.

4 Now I'm going back to the study by Professor
5 Westerling, so remember that he used data to train his
6 model only to 2013. So, after 2013, more or less after
7 here, everything is simulations with the climates and areas
8 developed for the assessment and land-use scenarios. So
9 the average conditions, the red and blue, the dark red and
10 blue, I mean, they go up, and that's what's reflected in
11 the map that I showed before.

12 I think the most interesting thing for me are the
13 extremes, so we have -- these are the extremes, the 95th
14 percentiles, and it just happened that we have one -- I
15 think it's more or less after 2010 -- in the model. So
16 this is not calibrated, you know, to match what happened in
17 the last few years. It's something that came out of the
18 model.

19 So the other thing is that the frequency of these
20 extreme events will go up, so it's like going to be
21 breaking records in the next few decades, in the next few
22 years, you know, with this type of wildfire events that
23 will be burning more and more acres in California.

24 So now I will give you a test. It's a one-second
25 test. So the test is, where do you think the 2017 wildfire

1 year would fall here? So here is the number -- I mean, the
2 areas burned, so you mentally have your answer ready, and
3 the answer is that it's about here (indicating). Okay?
4 So, basically, we may have -- we could have seen things
5 worse under current conditions.

6 Okay. So the main findings from the climate
7 science workshop on July 25th, I'm not going to go in
8 detailed discussions about each one of them. I think the
9 main one for me is that projections of how wildfires will
10 change in the rest of the century are all over the place.
11 It all depends on what type of wildfire model you use.
12 There are some models that actually suggest -- that use
13 wildfire risks. I think they are totally wrong, but they
14 are there in the peer-reviewed literature.

15 In addition, I mean, we don't know how tree
16 mortalities will affect wildfires. They are hypotheses,
17 one of them put together by Professor Stephens from UC
18 Berkeley, suggesting that surface-based wildfires will go
19 up to unprecedented levels, something that we haven't seen
20 in California before, what they call "massive" type of
21 wildfires in the future, and the problem with those type of
22 system, we don't have enough data information to inform the
23 simulation of those type of models.

24 The other major research issue has to do with
25 relative humidity. I mean, we need to better understand

1 how relative humidity will change. We have now results
2 from the downscaling that was done for the Fourth
3 Assessment. We need to examine them.

4 The big issue has to do with winds. So I didn't
5 realize that the long-term database for wind is very poor
6 in California, so it's very hard to validate models when
7 you have a very poor data set to use for validation, but
8 the other thing is that, depending on what model you use,
9 you get totally different results with respect to wind
10 fields. So this one is the one that was recently produced
11 for the CPUC. It's a 10-year simulation, so two
12 kilometers, using whatever search forecasting model was
13 done for DRI, but one would think that we need to tackle
14 this high discrepancy between different modeling
15 approaches.

16 So, the future. So, in between climate
17 assessments at international and national level, we always
18 find the foundation at work involving is developing (sic)
19 the next-generation regional climate models. So we already
20 have a contract developing the next generation of regional
21 climate models that will be used to downscale the outputs
22 for the next generation of global climate models, that are
23 being run right now for the next IBCC (phonetic) climate
24 assessment I think we'll be releasing about 2022.

25 Okay. So the good news is that a new downscaling

1 technique for regional climate model would have better
2 information about wind regions, about relative humidity,
3 and information and data that will be very useful for
4 future simulations of wildfire regions.

5 Of course, this is not going to happen overnight.
6 I mean, we're in the process of developing the model, and
7 later on we'll have to develop the climate scenario. So
8 this will take three or four more years, before we have new
9 climate scenarios.

10 There is also an EPIC solicitation that is
11 planned by early next year or sometime in 2019, you know,
12 trying to address some of the science issues that I
13 discussed before. Hopefully, the work that we're doing now
14 and plan to do will be foundational work for the next
15 California Climate Change Assessment.

16 So, with that, thank you very much.

17 CHAIRMAN WEISENMILLER: Yes. One question,
18 Guido. As I understand it, the Rand study was looking at
19 residential insurance?

20 MR. FRANCO: Yes, it was residential insurance.

21 CHAIRMAN WEISENMILLER: One of the ways I was
22 going to encourage the utilities was to provide some of
23 their insurance information into this record, also, to
24 strengthen the understanding of both parts of the insurance
25 market.

1 MR. FRANCO: There's no other questions? Okay.

2 MR. ERNE: Good morning. As Guido mentioned, the
3 workshop we had last week had really two pieces to it, but
4 the first half was on the science, and the second half was
5 on technology, mostly around fire safety. That was the
6 primary point of discussion, although we did add a
7 discussion of resilience in that conversation as well. So
8 I'm going to walk through the summary of the conversation
9 that we had during the course of that workshop.

10 As you can imagine, this was, I think, about an
11 hour and a half associated with this topic, which was a
12 very complex topic. There's a lot to discuss. So I think,
13 as part of that meeting, can scratch the surface on this,
14 and I'll give you that overview.

15 Not to say there isn't work going on in this
16 area. More broadly, there's a fair amount of research that
17 has been going on, particularly with the IOUs (phonetic),
18 and, actually, in their previous EPIC plans, and in their
19 most recent EPIC III proposal, they have a number of
20 projects that are related to that, and you'll see them
21 wrapped into the overall conversation here today.

22 So we started the session with a panel
23 discussion, again talking to the folks that you likely see
24 to be able to address or identify the most significant
25 research opportunities, with the CPUC and the utilities.

1 We also added -- as David Stoms mentioned, we added Cal
2 OES, which was a great addition, because we want to think
3 as broadly as possible about, ultimately, adoption and
4 deployment of technology.

5 So, clearly, the utilities are a strong source of
6 deployment, but, also, are there other ways that we can get
7 broader deployment of technologies? And the Cal OES Grant
8 Program is one way that communities can think about how
9 they can deploy solutions that might make their communities
10 more resilient. So they gave an overview of their grant
11 program, and we'll look at ways that maybe the outputs of
12 the research that's going on and will be going on could be
13 deployed more broadly.

14 The CPUC has a great way of helping to digest all
15 of the options associated with fire risk and fire safety,
16 and they put them into three different categories, which I
17 think is great to talk about, so I'll mention a little bit
18 about each one of these.

19 As you can imagine, fuel management is pretty
20 much the most obvious, and there's many traditional ways of
21 handling this, clearance requirements for vegetation
22 management, and there are other technologies that are being
23 deployed in the early phase, that could possibly be growing
24 using unmanned aerial vehicles, using lidar to help
25 identify height and density of vegetation on the outskirts

1 of the -- on the clearance areas, so you can start to see
2 whether there are opportunities to address problems in
3 advance of them coming in contact with the system.

4 Ignition control, that's clearly the broadest
5 area of -- or the deepest area of technology opportunities.
6 I'll get into a lot of details there, but there are a lot
7 of work that's going on right way, exploratory work with
8 new kinds of fire poles, or new types of fire-resistant
9 poles, and also sensor technologies that can identify
10 faults or possibly deenergize lines before a line hits the
11 ground.

12 Lastly is monitoring and prediction. Quite a bit
13 of work is going on right now in the utilities to add more
14 weather stations, to get better data about the weather
15 conditions, be able to use predictive models, try to assess
16 where the biggest challenges are going to be, but clearly
17 there are areas that we need to continue to work to improve
18 that.

19 One thing that's well represented by the diagram
20 is the overlap in these. So you can't really, truly bucket
21 these into three different areas. They all overlap, and so
22 you'll see some of that as we go through the conversation.

23 So, fuel management. A quarter of our
24 (indiscernible) ignitions come from vegetation, and so it's
25 clearly an area that we need to continue to work on. The

1 biggest challenge here is not so much the obvious, but it
2 is the less obvious, the trees that look healthy but may
3 not be, and may impact the lines, and how do you get a
4 better sense of ways to assess their conditions?

5 As I mentioned, there are things like using lidar
6 to help get a better sense of what the risks might be
7 remotely, so you can cover more area more rapidly. This is
8 a critical area that we want to continue to look at.

9 Ignition control, as I said, is one of the larger
10 areas, with a lot of ideas that came out, and it's clearly
11 an issue of making the system -- improving the equipment to
12 make it more resistant, stronger wires or better
13 fire-resistant poles, those kinds of things, as well as
14 better fault detection, and also quicker response when
15 there is a fault detected, so sensors that can detect a
16 fault and actually deenergize a line before that line ever
17 hits the ground.

18 Those are currently being tested. It's at the
19 IOUs, but is there an opportunity to expand that and look
20 at that more robustly? But ways to address the ignition
21 control is a pretty important area. There are many
22 technology options on the horizon that could be
23 demonstrated, and I think some advanced research that could
24 be applied to make those opportunities better.

25 Lastly in the three areas is monitoring and

1 prediction. As I mentioned, there are a number of -- the
2 utilities are adding a number of weather stations, to
3 improve the data collection and be able to use that
4 information in a predictive manner, to look at where they
5 might deenergize lines and they might take action more
6 quickly.

7 One of the areas of concern always is, as you get
8 more data, how do you analyze that data? How do you use
9 that data in a better way? So data analytics is a pretty
10 critical part of this particular portion of monitoring and
11 prediction, and one of the topics that came out in this
12 particular area that actually relates more broadly is
13 really the challenge around communications.

14 So, in most cases, the biggest challenges are in
15 remote areas, where maybe communication opportunities are
16 not as great, and so how do you improve the communication
17 pathways to be able to get that information, and be able to
18 utilize that information, either back at headquarters, or
19 can you set up approaches that will have the opportunities
20 to address the issues remotely, so have automated response
21 more locally, rather than having them back at headquarters?

22 The last issue that came out, which was obvious,
23 but was not a direct line of inquiry going into this
24 discussion, but certainly there's a lot of dialogue about
25 resilience, and the opportunities around resilience

1 associated with fire in the electric grid.

2 So the topic areas that primarily came up were
3 things about community solutions. Can you make homes more
4 fire resistant if you can identify certain critical loads
5 that you can focus on? Can you make resilient zones, or
6 larger, broader resiliency in the communities? Those could
7 be helpful in the resilience aspect.

8 Microgrids, one of the areas we've spent a lot of
9 time talking about, and actually doing a lot of research
10 on, and the value of microgrids to resiliency on the grid,
11 and the last thing was mobile energy. Are there ways that
12 we can utilize mobile batteries or mobile storage in a way
13 that we can have it charged and available to be able to use
14 in emergency situations?

15 For example, we have a project right now at Port
16 of Long Beach that will be looking at how they can use
17 mobile energy batteries on the back of a truck, where they
18 can charge and have charge ready, and in event of
19 emergency, they can use those for powering pumping stations
20 or powering refrigeration on the port, to be able to keep
21 food and medical supplies safe. So are there more
22 opportunities to take that mobile energy and apply it into
23 grid space?

24 So, overall, the most prominent recommendation
25 out of the event was that this was a successful first

1 event, one of what should be many conversations to further
2 delve into the specifics, and be able to look at, for
3 example, a gap analysis of what the IOUs are currently
4 doing and the utilities are currently doing, and what's not
5 being touched, and where are those areas that we can focus
6 our research on.

7 So our process is to set up this working group,
8 make it a very broad collection of stakeholders, include
9 community representatives so we get that perspective as
10 well as the other perspectives that we've mentioned, and
11 identify those near -- utilize those working groups, that
12 working group, in structured public meetings to prioritize
13 future research in this area, initiate GFOs, and then put
14 it all together for deployment options.

15 Any questions?

16 CHAIRMAN WEISENMILLER: Yes. I guess a question
17 I'd like to ask you and Guido both is; do you have a sense
18 of whether we have the right order of magnitude for the
19 research dollars in these areas?

20 MR. FRANCO: Well, for the science part,
21 obviously, no. We will need more. But, I mean, but we
22 know that, in practice, there are limits. I mean, there's
23 too much, a lot of things that could be done to improve the
24 science. I mean, for example, with respect to tree
25 mortality and the impacts on wildfires, I was talking to

1 Professor Bellows (phonetic) from UC Berkeley. I was
2 telling him, "Do we need to wait 20 years or 10 years to
3 find out what's going to happen?"

4 We were discussing, and we came to the
5 realization that we could actually have physical
6 simulations, the same way that you test an airplane and
7 wind fuel. I mean, there are facilities that will allow --
8 you know, simulate things that would happen with tree
9 mortality, you know, dead tree with a lot of surface fuels,
10 and just, you know, perform physical experiments, and find
11 out how -- and, actually, that's how some of the
12 process-based wildfire models are developed, you know, with
13 this type of controlled experiments, and I think that would
14 be one area that would be very costly, but I think it would
15 be extremely useful.

16 MR. ERNE: So my response is, I'm not sure of
17 that, and only because we really only started to talk about
18 the breadth of the possibilities, and we didn't get into a
19 conversation which I think we need to get into, which is,
20 what are, specifically, the utilities doing now, and what
21 is not being done? And until we do some more of that gap
22 analysis, we won't really have a sense of what we would
23 need to actually address those additional challenges.

24 CHIEF OF STAFF PETERSON: I have a related
25 question. So, kind of before the CPUC opened our rule

1 making on climate change adaptation, we did ask the major
2 IOUs to perform vulnerability assessments, and I know, if
3 Kristin Ralff-Douglas was here, she'd be speaking on that
4 on that next I believe.

5 So I can tell that probably some of the ideas
6 from the panel came from those assessments, I would
7 believe. I'm curious about the POU side of things. Have
8 publicly owned utilities conducted vulnerability
9 assessments? What's the state of their awareness about
10 their gap analysis?

11 MR. ERNE: Yes. So the only one that we talked
12 to is Trinity, so I won't speak definitively on their
13 behalf of all that they have done, but I know that he did
14 present quite a bit about the issues that they're currently
15 having, specifically in their rural areas, where they cover
16 a lot of densely forested areas, and their challenge that
17 they primarily are focusing on is the clearance
18 requirements, and, you know, the clearance requirements do
19 not address the fact that they have very tall trees that
20 could easily fall on the lines, and ways to be able to help
21 prioritize how they handle that situation.

22 So they have started using unmanned aerial
23 vehicles, drones, to help monitor the lines and look at
24 vegetation, look for vegetation issues, but, in terms of
25 their particular area that they brought forward, it was

1 really about some of those challenges.

2 CHAIRMAN WEISENMILLER: Actually, since we have
3 Tim here from SMUD, I was going to encourage you to go to
4 the microphone and either fill us in or promise a report
5 later, or a filing later.

6 MR. TUTT: On (indiscernible)?

7 CHAIRMAN WEISENMILLER: No. This is on the
8 question of, what research is SMUD doing on fire issues?

9 CHIEF OF STAFF PETERSON: Or has SMUD conducted a
10 vulnerability assessment of its infrastructure, and not
11 just to wildfire, but perhaps to other climate change
12 forecasts?

13 MR. TUTT: Good morning. Tim Tutt from SMUD. I
14 do believe SMUD has been doing some research on that area,
15 and has participated in the wildfire proceeding at the
16 CPUC. I don't have that at the top of my head, but I can
17 bring that back to the record later.

18 CHAIRMAN WEISENMILLER: That's great. That's
19 great. Thanks, Tim.

20 MR. TUTT: You mentioned earlier getting
21 insurance information into the docket. I'll see what we
22 can do on that. You saw (indiscernible) today.

23 CHAIRMAN WEISENMILLER: Yes. We seem to be
24 motivated in this area. I guess the other question for
25 both of you is, obviously, one of the things that we've

1 looked at is for essential facilities that are in high fire
2 risk areas, and there's a large number in the state.

3 So I assume a subset of those are general
4 services facilities. Do we know if they're really starting
5 to come to grips with resilience issues? I mean, it would
6 be good if there's some experimental technology. We could
7 at least try it in those facilities, or military bases, you
8 know.

9 MR. ERNE: Yes. I don't think we have an answer
10 for that. We'll bring it up in the working group.

11 CHAIRMAN WEISENMILLER: That would be great.
12 You're obviously encouraged to have them on the working
13 group, if they're not already. Okay. Thanks.

14 MS. RAITT: So, sounds like we are ahead of
15 schedule, should we go ahead and break, and we'll plan to
16 get back here at 1:15?

17 CHAIRMAN WEISENMILLER: Why don't we say 1:00
18 o'clock.

19 MS. RAITT: Okay. 1:00 o'clock it is.

20 CHAIRMAN WEISENMILLER: So back at 1:00. Thanks.

21 (Off the record at 11:50 a.m.)

22 (On the record at 1:04 p.m.)

23 MS. RAITT: So we'll go ahead and get started
24 again. So welcome, everybody, back to the workshop, the
25 IEBR Workshop on Climate Adaptation and Resiliency, and we

1 are going to start with two speakers from the CPUC to tell
2 us about their climate activities, and the first is Kristin
3 Ralff-Douglas from the CPUC.

4 MS. RALFF-DOUGLAS: Thank you. So I am Kristin
5 Ralff-Douglas, and I am going to talk a little about the
6 new rulemaking that we have on climate adaptation.

7 How do I move the slide forward? Okay.

8 So this rulemaking was opened to consider
9 strategies to integrate climate change adaptation matters
10 into relevant commission proceedings. It was voted out on
11 April 21st, and it was issued on May 7th, and in the first
12 phase, we are just looking at the electric and natural gas
13 utilities. There will be potential subsequent phases that
14 will look at other utilities.

15 The reason that we were looking at adaptation is
16 that it's obviously a time of worsening in climate impacts,
17 and it is the prudent next step to ensure the safety and
18 reliability of all investor-owned utilities, and one of the
19 things that we highlighted in the OIR was all the work that
20 has been done by all the other agencies in California.
21 There's a lot of thinking that's been done in terms of
22 climate adaptation that we will be relying on in this
23 rulemaking, and so I've put just a few of the things there
24 that we're looking at, including Cal-Adapt.

25 It's also seen that we started with the electric

1 and natural gas utilities, because this really is a
2 continuation of the work, in some ways, that they've been
3 doing with the Department of Energy's Partnership on
4 Climate Resilience.

5 All of our utilities, the investor-owned
6 utilities, are members, as is SMUD, and as part of that
7 memorandum of understanding, they have all agreed to
8 produce vulnerability assessments and resilience plans.
9 They're also working with the DOE consultants on the
10 definition of a "resilient utility" -- I understand this is
11 a document that will be coming out later this month -- and
12 also a cost/benefit analysis of investments in adaptation.
13 So, again, these are great documents and resources for us
14 to be considering.

15 In the OIR, we asked parties to consider five
16 specific questions, and these are the questions that we
17 asked them. So the first one was "How should the
18 commission define 'climate adaptation' for the IOUs? What
19 climate-related data sources, scenarios, tools, and other
20 resources should be used to inform the commission
21 activities and utility planning? What climate parameters
22 should the commission use to determine climate-driven risks
23 and resilience for electric and natural gas? How should
24 climate scenarios, climate-relevant parameters, and
25 resilience metrics be used, and how can the electric and

1 natural gas utilities identify climate impacts specifically
2 relevant to disadvantaged communities and address those
3 impacts?"

4 We got several respondents to these questions,
5 and I thought it would be interesting to just go through
6 some of the highlights of the responses, because I think
7 that they really show that there's a lot of thinking that's
8 been done on this topic, and a variety of really complex
9 and broad issues are brought to bear in this rulemaking.

10 First, the first set of highlights is "Mitigation
11 prior to events, response during events, and restoration
12 after events." Obviously, it shows that the utilities are
13 thinking about this in a very broad perspective of timing,
14 also a broad variety of things that will be impacted,
15 including the structure -- sorry, the infrastructure -- and
16 the system, as well as their operating practices, and also
17 outreach to communities, so really thinking about how the
18 customers are going to be impacted.

19 Then, on the vulnerability assessments that
20 several respondents thought that we should be doing or
21 adding to, they're looking at supply chain issues and
22 energy production risks for the supply side and the demand
23 side. So I think that there's a lot of different issues
24 that are going to be raised in this proceeding.

25 I won't go through all of these, but these again

1 talk about how the utilities could or should be held
2 accountable, or what they could or should be thinking about
3 when they are planning for the future, so everything from
4 "Do you do a resilience metric, or do you look at a
5 measurable objective?"

6 I should say that these are not being put up here
7 because the commission is in any way endorsing these
8 issues. These are simply issues that were raised by the
9 parties that responded.

10 One issue that came up several times were
11 flexible adaptation pathways, classification systems for
12 hazards and risks as extreme, cascading, and compounding or
13 gradual, the climate parameters. They're looking for
14 things that are specifically related to the utilities that
15 are going to be using them, and one of the themes that was
16 fairly consistent was the standardization of both the data
17 that they're using to make these planning documents, but
18 also the standardization of the tools behind which they're
19 basing that information.

20 Another good question was whether or not we're
21 planning for the averages or the extremes. So you could
22 see from Guido's presentation this morning on fire hazards,
23 you know, there are some very extreme years. Do we plan
24 for those, or do we plan for the averages, and what would
25 be the benefits or the drawbacks from each of those?

1 Another concept is, obviously, this is going to
2 be an iterating process, after we continue to get more
3 information, more data coming in, and we learn more about
4 how we should be dealing with it.

5 Just this third highlight is, in terms of the
6 methodology to review and reconcile tradeoffs, I think
7 that's an issue that again was covered in many people's
8 responses, because you're going to have to be looking at
9 mitigating the climate risk versus affordability of those
10 mitigations, and between the different risk factors. So do
11 you focus on one area, like wildfires or sea level rise, or
12 do you try to look at these events in tandem?

13 Another important aspect brought up was the
14 cross-sectorial coordination, that is, to share
15 responsibility amongst many stakeholders, including state,
16 local, federal governments, private-sector entities, the
17 POUs, the IOUs, as well as community-based organizations,
18 and, finally, that there needs to be a lot of communication
19 and partnership and robust engagement with the communities
20 and the local governments.

21 I just wanted to point out that we're holding our
22 first workshop and prehearing conference on this rulemaking
23 on Monday, and you can call in or participate in the
24 webcast if you can't be there in person.

25 Do you want to do questions now or after?

1 CHAIRMAN WEISENMILLER: Yes. I had just a
2 couple. One is, it was encouraging that you mentioned that
3 SMUD was part of the DOE effort. I think last year, as you
4 recall, I nudged LADWP to also join in, apparently without
5 any success, but one of the questions going forward is
6 indeed how to -- just putting a lot of focus on safety
7 issues with the IOUs, and some degrees of standards. We
8 have 43 POUs, and the question is how to pull them in,
9 either voluntarily or legislation, or what? How do we do
10 that?

11 MS. RALFF-DOUGLAS: Well, they're not our
12 jurisdiction.

13 CHAIRMAN WEISENMILLER: Yes.

14 MS. RALFF-DOUGLAS: So I would imagine that
15 even -- you know, when we have had proceedings in the past
16 where the POUs have been interested in what the topic is,
17 they have certainly participated voluntarily in the
18 meetings and attended the workshops. Some have submitted
19 comments. So there's definitely an opportunity for
20 participation in the process.

21 CHIEF OF STAFF PETERSON: Yes, Chair. I would
22 ask your expertise, the same question. Kristin, can you
23 remind me, does the partnership offer resources for those
24 who are -- utilities that are just starting off on the path
25 of vulnerability assessment and resilience --

1 MS. RALFF-DOUGLAS: Yes. They have a really
2 great web site, where they have several documents that give
3 guidance on how to do a vulnerability assessment, how to do
4 a resilience plan. There's a lot of really good examples
5 that they have gathered from as far as England and across
6 the U.S., of plans that have been put together.

7 I think the resilience -- yes. The definition of
8 a "resilient utility" is going to be a very interesting
9 document, and, again, this is a collaboration between 18
10 utilities across the country. So it's fairly broad in
11 terms of that perspective.

12 CHIEF OF STAFF PETERSON: I'm sure that Guido
13 will have that document when it comes out, so sending it
14 out to your network sounds like a good idea.

15 CHAIRMAN WEISENMILLER: Yes, definitely. We can
16 send it out to the network, and, again, when we get to the
17 local events, we may be able to -- again, obviously,
18 probably have some overlap with the POU's, to encourage
19 their participation, and I think we do have -- one of the
20 next steps is the National Academy of Sciences event,
21 midmonth, on the rollout, and we will have some POU
22 participation there.

23 MS. RALFF-DOUGLAS: I think the other opportunity
24 is that we're talking a lot -- we're trying to bring in the
25 local communities, and, obviously, those POU's are local

1 community organizations as well. So I think there's an
2 opportunity to, if not directly engage with them, to engage
3 with the people that they are also engaging with in their
4 community, and through the Arco (phonetic) groups as well,
5 which many of them participate in.

6 CHAIRMAN WEISENMILLER: Yes. This is probably
7 too tough to get -- obviously, you know, the Dodd bill has,
8 basically, some degree of standards for the utilities, and
9 so the question at some point will be how this intersects
10 with assessments in your proceeding. Obviously, it's not
11 passed at this stage, so it's hard to speculate. Okay.
12 Thanks.

13 MS. RALFF-DOUGLAS: Thank you

14 MS. RAITT: Thank you, Kristin.

15 Next is Elizaveta Malashenko from the CPUC.

16 MS. MALASHENKO: Hi. Good afternoon. Elizaveta
17 Malashenko. I'm the Director for Safety and Enforcement at
18 the CPUC. I'm happy to be here this afternoon. Thank you
19 very much for having me here.

20 I'm going to start off by talking about the data
21 of fire ignitions that the utilities have been submitting
22 to the commission since 2015. We have a total of about
23 2,000 fire ignitions that have been reported to date, so
24 that's for the three IOUs, and they are required to submit
25 all instances of where --

1 CHAIRMAN WEISENMILLER: That's 3,000 since when?

2 MS. MALASHENKO: Two thousand, since 2014, yes.

3 They're required to report on an annual basis all
4 instances where their equipment ignites a fire. So the
5 majority of those are small, less than a quarter of an
6 acre, go out by -- fire can go out by itself, but some
7 (indiscernible) to this data that I can get into later, in
8 Q and A, if you're interested, but it does have some strong
9 trends.

10 The two main ones that I want to call your
11 attention to is that the primary cause of ignitions is
12 contact with vegetation, and so that's instances where
13 vegetation is coming into contact with the electrical
14 equipment without the underlying failure of an electric
15 asset, and those account for a quarter of all ignitions
16 that have been reported to the PUC.

17 The second leading cause is wire down, so it's
18 wire failure, either the conductor coming down or failing
19 at the splice. That accounts for another 20 percent of all
20 of the ignitions. So, in combination between wire failure
21 and vegetation contact, that's almost 50 percent of all
22 utility-related ignitions.

23 There is quite a bit of variation across the
24 territory, and, also, PG&E, you see an even heavier shift
25 to where vegetation is the primary cause. In Edison's

1 territory, you see a heavier representation of equipment
2 failure as the leading cause of ignitions, but overall the
3 trend is still the same, that the primary cause is
4 vegetation. Secondary is the wire splice failure.

5 I think that these numbers are very interesting.
6 I try and highlight them on every opportunity I have to
7 speak, because I think we really have to be looking at how
8 these utility fires start and how they spread, which ones
9 turn big, under what circumstances, and what is really
10 causing them, and we do have this data. I don't know of
11 any other state that tracks it, and we wish we had more,
12 but, you know, we do have this data, and I think we need to
13 keep improving on this effort to get even more data-driven
14 in our analysis and our policy development.

15 So David did a good job introducing the framework
16 this morning, so I'm not going to go through it in great
17 detail here, but the idea here is that you really need
18 three things to create a wildfire. You need fuel to fuel
19 it, you need an ignition source, and weather conditions.
20 So all these three elements need to be present.

21 As we're thinking of policy and mitigation
22 measures, it helps to think of them in these three buckets,
23 I think. They do all link together, but that is a way to
24 organize our thought around what we can do for utility
25 wildfire prevention or wildfire prevention in general.

1 Just a quick recap of what the commission has
2 been doing in this area, and it's been quite a lot. We've
3 had a fire prevention rulemaking that went on for more than
4 seven years, and it has more than 25 decisions, I think,
5 over that period, of adopting different regulations to
6 strengthen, you know, fire prevention measures across the
7 state.

8 The latest decision out of that came out in
9 December of last year, and it adopted a whole range of fire
10 risk-based requirements for safety of overhead electric and
11 telecommunication facilities. So it amended what is the
12 main regulation for electric safety in California, which is
13 commission's General Order 95. They made quite a range of
14 changes to it.

15 One of those notable changes is requiring even
16 more strict vegetation clearance requirements. California
17 is already leading in the nation in terms of its clearance
18 requirements on the distribution side. This decision made
19 them even more stringent in high fire-threat zones for
20 high-voltage distributions, 10 feet, so that's kind of rule
21 of thumb of how big the clearance is required.

22 Now, some of the other things around fuel
23 management that the decision did was add a provision for a
24 utility to be able to disconnect service to a customer if
25 they're preventing vegetation management activity in the

1 area that poses a high fire threat.

2 It has been historically a challenge for
3 utilities to perform vegetation management activities,
4 especially outside of their immediate right-of-way, which
5 is a bigger problem in distribution, where your
6 right-of-ways can be pretty tight.

7 I have personally been involved over the years in
8 quite a few instances where local communities in what's now
9 mapped in high fire-threat districts were taking measures
10 to prevent utilities to perform vegetation management, what
11 they deemed to be too aggressive, and they would come to
12 the commission asking us to say that what they're doing is
13 more than what's required per regulations, to basically
14 tell them to stop.

15 So it has historically been a challenge for
16 utilities when managing outside of just strict clearance
17 requirements, especially in distribution, when maintaining
18 vegetation outside a right-of-way, so just something to
19 flag. So this decision expanded the clearance
20 requirements, and also added this additional provision to
21 give utilities an extra tool in case you have a very
22 high-threat safety condition, to disconnect service if
23 needed for public safety.

24 The decision also introduced stricter utility
25 maintenance program requirements, and minimum inspection

1 cycles for overhead communication facilities. Up until
2 this point, the communication companies were not actually
3 required to inspect their facilities at all, so some
4 progress being made here.

5 Then what else? And then the wildfire maps
6 themselves got adopted earlier this year, so those were two
7 separate actions the commission took, as well as passing
8 the regulations at the end of last year, and then the final
9 staff action was to review the maps and approve them, which
10 was done at the beginning of this year.

11 Then the commission also recently adopted the
12 de-energization policy, which introduced the expanded
13 requirements for coordination of utilities with communities
14 that may be impacted by de-energization and holding public
15 workshops and things like that.

16 So, moving forward, priority future actions.
17 What should we all be doing, and what is my group focused
18 on? In the fuel management domain, our biggest issue, in
19 my opinion, is that you max out the benefits of expanding
20 clearances. They are 10 feet. If you have a 30-foot tree,
21 22 feet away from the powerline, it poses a fire risk.
22 Under wind conditions of, you know, about 50 miles per
23 hour, healthy trees fail, healthy branches fail.

24 We have wind speeds recorded of 90 miles per
25 hour. In those kinds of conditions, you have vegetation

1 flying from a quarter of a mile away or more. So having
2 this focus on compliance and clearances, you just reach
3 your limits where nature doesn't cooperate. So we need to
4 be making -- rethinking of how we do vegetation management
5 at a utility site, in my opinion, and those are a few
6 things that I think we can be doing.

7 You know, the way the utilities have
8 traditionally done vegetation management is that they break
9 the territory into sections, into these "polygons," as they
10 call them, on their maps. They give it to a contractor.
11 The contractor, on a specific schedule, goes out, surveys,
12 usually foresters and arborists. These people walk around.
13 They look and visually see dead trees, things that don't
14 look right, note them down, then, in the back end, you
15 know, contract with tree trimmers, who then go out, do it.
16 It gets recorded, and then you do it again on a cycle,
17 maybe a year later.

18 It is very labor intensive -- we spend, across
19 all of the utilities in California, easily a half a billion
20 dollars of operational maintenance costs just on this
21 activity that I described. What we can be moving towards
22 is learning from how vegetation management has done the
23 transmission. You can't just sort of apply transmission of
24 operations to distribution and expect it to scale, but they
25 have some really good lessons learned of what works.

1 Lidar is one example, so using advanced imaging
2 to perform your patrols and your surveying. The cost of
3 lidar has gone down significantly, and the equipment itself
4 is becoming smaller and smaller. We don't have any
5 requirements right now to do lidar sorting and
6 distribution, but it's technologically feasible.

7 Data analysis is an issue right now. To crunch
8 all the data that comes off from a lidar survey can take a
9 couple of months. I mean, it depends on the vendor and
10 what you're looking for, but, of course, if you're trying
11 to identify immediate safety hazards, it's not fast enough.

12 Second issue has been that, typically, the way
13 that I know that utilities do lidar contracts with vendors
14 is they really look for right-of-way and for clearance
15 violations of things that can go into clearances, right
16 outside of right-of-way, in this kind of expanded look.

17 So that's just a shift in approach, and, again,
18 from a utility point of view, I think you get into this
19 question about, what do you do about all this stuff that's
20 in people's back yards that you may pick up in your lidar
21 survey, and now you kind of -- you know about it, so it's a
22 risk that you know about, and you may not be able to do
23 something about. So there's kind of incentive not to look
24 beyond your immediate asset.

25 So there's opportunities with this lidar

1 surveying to have a broader risk assessment, because we
2 don't have a method right now, I don't think, as an
3 industry, to kind of figure out what you do with these
4 wider risks. You can't just expect the utility to, you
5 know, address every single tree that can potentially fall
6 into the lines. You can have a 100 foot pine tree, 75 feet
7 away from their line, and, you know, it just never ends.

8 So I think one of the ways that we can be really
9 looking in this area is, how do you use good data paired
10 with the surveying to be able to crunch a lot of this data
11 a lot faster, and do risk assessments, and then pair the
12 sort of manpower and the people with the technology, so
13 you're doing these more frequent), surveying, and
14 analytics, and then pinpointing the areas where you have a
15 high-risk area, and then sending your foresters and
16 arborists out there to have a look and come up with a
17 mitigation plan, so pairing people and technology.

18 The kind of technical aspect of this that needs
19 to get developed is that there's still some improvement
20 that can be made on the lidar side, especially with,
21 actually, autonomous vehicles. There's some crossover,
22 because they've been using some of the same things as far
23 as I understand that you can use on the survey side, in
24 terms of sensing, getting them smaller and cheaper, but
25 then the analytics needs to be there as well, and the

1 computing capacity to actually be able to take all of this
2 data, not just necessarily lidar. You can also introduce
3 some infrared imaging and other things, and cameras as
4 well.

5 Then the other opportunity, fuel management, I
6 think, lies with really bringing together environmental
7 components of vegetation management with safety, and thus
8 far they exist in these two different worlds that don't
9 ever talk to each other. So an example of this is drought
10 resiliency, and the efforts that have been going on from
11 the water conservation side.

12 So there's programs out there, usually through
13 water utilities locally, where people can apply, for
14 example, for money to redo their yard so it's more
15 water-efficient and uses need (sic) of plants, and, you
16 know, there's significant amount of resources going towards
17 this area.

18 Well, that money and those programs don't take
19 safety into consideration at all, wildfire prevention. So,
20 you know, if we actually start thinking in these things
21 together, you can potentially include, I think,
22 requirements for programs that already exist on the water
23 conservation side, to say, "Okay. Well, if you're redoing
24 somebody's yard, also build in defensible space, and make
25 sure that you're planting according to the "right tree,

1 right place" principles, and are not planting something
2 that might be drought-resilient, but still going to fall
3 into a powerline and cause a fire. Right? There's no
4 technical reason why that's not being done right now, other
5 than the two sides of the house just don't talk to each
6 other. Right?

7 There's some really exciting things, I think,
8 that have been happening on the transmission side
9 nationally, with bringing the environmental considerations
10 with safety. It's called "IVM," integrated vegetation
11 management practices. One example of that has been seeding
12 transmission right-of-ways with plants that encourage
13 pollinators, so it's using the transmission right-of-ways
14 to help bees, and there have been really successful pilots
15 there.

16 It doesn't hurt safety, doesn't help safety. You
17 know, you're just planting flowers. But, again, as we're
18 trying to think statewide of how do we manage these
19 major-scale problems, and use our limited funds, you know,
20 if you're already spending, you know, half a billion
21 dollars going out there and inspecting things, if you can
22 also, you know, do other things that are good for the
23 environment, you can potentially increase your benefits and
24 sort of, you know, create cost-effective ways of running
25 these programs. So that's in the fuel kind of management,

1 vegetation management side of the house, of where I'm
2 hoping that we can sort of move forward to.

3 There's been a lot of discussions on weather
4 preparedness, so I won't go into that a lot. I think
5 utilities will cover that as well in the afternoon, but
6 it's the real-time situational awareness, deploying weather
7 stations and cameras so that utilities can not only get
8 better prepared and know where the risks are on the
9 circuits, but it really helps in coordination with first
10 responders if you do have a fire, and be able to respond
11 more effectively.

12 We do need better detailed weather modeling and
13 wind information across the state, and then a fire threat
14 index. We have something along those lines in San Diego
15 area, but, with the conditions that we have right now, I
16 think it makes sense to be learning from how the East
17 Coast, for example, prepares for hurricanes and
18 similar-type weather conditions, so that we can actually
19 have a similar approach in terms of public notification and
20 preparedness and how different entities work together, and,
21 as fire conditions rise, that we have that ability to
22 mobilize.

23 One of the big issues right now is that the red
24 flag warnings apply way too broadly. It's discussed that
25 last October for PG&E, I think all but like two of their

1 districts didn't have red flag warnings. So, if your
2 entire service territory is under a red flag warning, I
3 mean, you're not going to turn off, you know, PG&E. So you
4 need more granular information. That's where it really
5 comes in. Yes, we have de-energization policy, but unless
6 you can really get very granular and know at the circuit
7 level of where your problem is, that's not going to help
8 you very much, because of the magnitude of the issue that
9 we face.

10 Then, in the ignition control, that's really an
11 area where, you know, we need to be driving that number
12 down on the utility side as low as possible in terms of
13 ignitions from failure of their own infrastructure. Yes,
14 this challenges us to more than 200,000 miles of electric
15 lines, 4.5 million poles. Everything is aging, and we have
16 more and more demand on poles. Everybody wants to keep
17 connecting to them, and then we all want the
18 telecommunications technology.

19 So there's a lot of strain on that system that
20 needs to be recognized and acknowledged, but, again, I
21 think there is absolutely room for improvement in numbers
22 such as wires down that cause ignitions. We need to be
23 looking at reconducting circuits in high fire threat
24 districts, increasing wire to wire spans, doing R and D
25 around wire failure. I don't think that's been a very sort

1 of hot topic in R and D. I may be wrong, but I haven't,
2 seen there to be a lot of focus on there. How do wires
3 fail? What are some of the materials that, you know, would
4 be better used?

5 We could consider coating in some areas. I know
6 it's been sort of discussed in different forums. There's
7 issues with that, too, because your coating is going to
8 degrade as well, you know, if you're coating in just some
9 plastic kind of thing. It can also -- if you have a fault,
10 you can set on fire, start dripping. I mean, there have
11 been cases of that sort of happening. So you really want
12 to understand these materials and how they interact with
13 weather.

14 So I think there's a lot of opportunity for
15 research, but just for utilities, there's a lot to really
16 focus on, and not kind of run these assets to failure, and,
17 of course, making use of the smart grid deployments, and
18 the technologies the utilities are developing in that area
19 with advanced fault detection and analytics, real-time
20 system monitoring, to be able to disconnect really quickly
21 if there are indications of contact with vegetation and
22 things like that.

23 I know I took up a bunch of time, but, with that,
24 I will see if there's any questions.

25 CHAIRMAN WEISENMILLER: Thanks. Great

1 presentation. A couple questions. One is, if I recall
2 correctly, you and Picker were testifying before the
3 legislature when we had the workshop on research, so I'm
4 certainly going to encourage you to give your research
5 needs to the staff in that conversation, so we can really
6 focus the research going forward.

7 I guess two general questions. One is on the
8 deactivation. I know at times I've talked to utilities who
9 were like, "God. I really would like to cut off a line
10 now, to evacuate in this area so they need traffic signals
11 working," and/or the pumps are electrical. How do we deal
12 with the non-utility infrastructure going forward on the
13 cutoff questions?

14 MS. RALFF-DOUGLAS: I think the de-energization
15 in general is something that is going to continue to be
16 discussed, and there's a lot more analysis that we need to
17 do. It helps to actually have events, so we can learn from
18 how they work and how they don't work. We've learned a lot
19 from SDGE last year. There's definitely a challenge with
20 the first responder community of performing evacuations of
21 an area.

22 The conversations that I've had with CAL FIRE and
23 with Cal OES is that they train and they prepare to
24 evacuate in a situation where there's a loss of power, and
25 they generally know kind of how to work around it, but it's

1 really communicating with the public that becomes more
2 difficult, and then, the longer this goes on, you lose
3 communications, et cetera, et cetera. You also have a lot
4 of critical facilities that should have backup power for at
5 least 74 or 75 hours that don't. It's just a chronic
6 problem in the state, you know, wildfire or not.

7 There's other concerns as well. One of the
8 things is that, when you deenergize a line, you lose all of
9 the protective equipment, because all of the protective
10 equipment is set up to -- you know, based on how the
11 current and the voltage is behaving in the line. When you
12 deenergize, there's no signal. Everything is just dead.
13 So the wind continues to blow. Right?

14 So you could have a new safety condition that
15 developed, that would have tripped the line if it was on,
16 but now all your safety equipment is down, and so, when
17 you're starting to bring the line back, you have to be
18 really careful that, you know, you're not going to cause
19 fires doing it, and so the utility has to perform patrols
20 and all of that.

21 It's easier in service territories where your
22 circuits are shorter, and when you also have networked
23 service, which SDG&E's territory. They have a lot more
24 networked circuits. But, if you're in an area that you
25 have really long radial circuits, and you're deenergizing

1 really large areas, not only do you have the challenge with
2 the first responders and the comms down, and the critical
3 facilities, you also have an operations and a safety
4 problem with just, how do you bring those lines back up?
5 So I think there's a lot of, generally, questions around,
6 how can this really work, practically?

7 You know, I think right now it's really supposed
8 to be a measure of absolute last resort. I think we're
9 going to see utilities other than SDG&E using it this year,
10 and learning from how that actually, you know, happens in
11 real life.

12 The big requirement right now is for them to meet
13 with the first responders and with impacted communities to
14 develop plans around it, but it's really -- I think, for
15 this to work effectively, it's going to need engagement
16 from the community to engage with utilities and talk about
17 where the critical facilities are, develop plans for
18 evacuation, work with first responders so you could think
19 through all of these problems, maybe invest in a backup
20 generator in a critical area, which is, you know, your fire
21 department, and work through that, because it is going to
22 be a challenge.

23 CHAIRMAN WEISENMILLER: Yes. I have a question.
24 In terms of vegetation management, it would seem -- and I'm
25 sort of curious for my colleagues -- I mean, one is just

1 trying to differentiate among the types of vegetation, more
2 often, and also, you know, the sort of setting. So the
3 urban/rural interface issues -- you might have a different
4 vegetation policy than along say a transmission
5 right-of-way.

6 DEPUTY SECRETARY BRIGHT: You know, I would
7 assume you would have different approaches for each type
8 of, you know, regional habitat, and the proximity of those
9 habitats to populations or facilities, but, you know, one
10 thing that was interesting to me was this idea that you
11 have very rigid requirements within this close proximity to
12 the powerlines. Then there are areas outside of those
13 powerlines that pose the same risk to that powerline, that
14 are outside of the right-of-way, in many ways that may pose
15 the same dangers, and how do you address that?

16 That's one of the main focuses of our forest
17 health drive, is to think a little bit more broadly than
18 just the tight jurisdictions around our interest, to create
19 more landscape level planning for fire resiliency.
20 Treating a hillside so that the fire can't travel up to the
21 powerline would be --

22 CHAIRMAN WEISENMILLER: My last question is,
23 obviously, the PUC is rolling out resilience adaptation by
24 group, you know, and you're sort of trying to catch up
25 pretty fast, and what is clear from your presentation is,

1 you know, there is a telecommunications component with the
2 resilience adaptation. I mean, you know, "Press 911" needs
3 to be rethought, and so the question, again, is, how do we
4 start getting our hands around that part?

5 MS. MALASHENKO: It's not anything that I
6 personally work on. I know that Cal OES in particular
7 works a lot on that issue, in our communications division.
8 So I can make sure we get more information.

9 CHIEF OF STAFF PETERSON: Yes. I think we
10 also -- our office doesn't necessarily work on that right
11 now, but I would say that the moment is now. As Liza
12 (phonetic) said, we have increased their surveying
13 requirements, so they have to go check facilities, and it
14 really is a very good moment to check on the state of their
15 knowledge of their facilities, as well as their checkups,
16 and then their plans for post-event.

17 CHAIRMAN WEISENMILLER: Well, it just seems like,
18 with the G5 rollout, you could have a lot more loading on
19 the lines.

20 MS. MALASHENKO: Yes. So, as far as the safety,
21 sort of the physical infrastructure safety, all that, there
22 was a -- so the communications facilities and electric are
23 all under the same General Order 95. It has some, you
24 know, provisions that apply just to electric or just to
25 telecommunications, but generally it's the same set of

1 rules, especially when it comes to pole loading. So, when
2 new types of facilities, like for 5G, needed permission to
3 attach, there was a proceeding of the commission that
4 looked at the type of equipment and how we needed to modify
5 General Order 95 to allow for safe attachments. So that
6 has happened.

7 There's also another proceeding that's going on
8 right now, which is for what's called a "pole management
9 and survey" -- I can't remember the exact name, but the
10 idea now proceeding is, how do we manage all of the pole
11 assets in the state? And it's a combination of safety
12 questions and access. So how do you make a law? Because
13 there's a lot of issues with transparency right now, that
14 you cannot -- nobody really knows what is everything that's
15 attached to a pole. Right?

16 So the commission is looking at that issue, of
17 how do we increase transparency in that area, and get
18 better data around the poles and the attachments to them?
19 Then there's a separate kind of workstream that looks at
20 911, and that is something that's led by Cal OES. There is
21 a lot of work, of how do we sort of have a 911 backbone and
22 a system for first responders to communicate? And that's
23 an area that I don't know as much about. I do know it's a
24 very active space as well that Cal OES primarily leads.

25 CHAIRMAN WEISENMILLER: Thank you. Thanks again.

1 MS. MALASHENKO: Thank you.

2 MS. RAITT: Thank you.

3 So we will move on to the next panel, addressing
4 climate risk for vulnerable populations in critical
5 facilities, and Susan Wilhelm from the Energy Commission is
6 the moderator. And so go ahead and take seats up at the
7 front tables, and we do have one participant via WebEx,
8 Jana Ganion, and we're just trying to get your line, Jana.

9 MS. WILHELM: I'd like to thank everyone for
10 being here. I'm Susan Wilhelm, and for those of you who
11 are participating remotely, the room is packed. So it
12 really reflects the importance of this workshop.

13 Our next panel will address actions to address
14 wildfire-related risks, with particular attention to
15 vulnerable populations in California. We'll first hear
16 from Jason Vargo at California Department of Public Health.
17 He'll give us an overview of the types of health impacts
18 that we need to protect folks against.

19 Then Mike McCormick from the governor's Office of
20 Planning and Research will talk to us about how the state
21 is helping local jurisdictions integrate climate resilience
22 into planning, as well as local hazard mitigation efforts.

23 Finally, Jana Ganion will join us from Blue Lake
24 Rancheria. She was unable to participate in person because
25 of the fires, but she's going to give us an overview of

1 Blue Lake's deployment of microgrids and distributed energy
2 resources, which really helps them safeguard their
3 electricity system during wildfires and other extreme
4 events.

5 With that, I'd like to give it over to Jason.

6 MR. VARGO: It's difficult to be here today
7 without thinking that many people across the state are
8 suffering. They're nervous. Some people are in the
9 hospital. Some people have died because of the problems
10 that we're here to discuss today. So thank you,
11 Commissioner, for convening this important meeting.

12 My name is Jason Vargo. I'm the lead scientist
13 for the climate change and health equity program at the
14 California Department of Public Health.

15 Climate change carries with it a number of direct
16 and indirect health impacts, and effective planning for any
17 of those will require that the vulnerable populations --
18 and by that, I mean the people who are hurt first and worst
19 by climate hazards -- are identified, understood, and that
20 plan responses be designed to adequately protect them.

21 Sorry. Thank you.

22 Within the California Department of Public
23 Health, we have an Office of Health Equity, and within that
24 Office of Health Equity, that's where the Climate Change
25 and Health Equity Program sits. Our charge is to embed

1 climate change and equity within public health work, as
2 well as to bring health and equity to many of the climate
3 change policies and climate action across the state.

4 Within that program, we have something called
5 CalBRACE, which stands for California Building Resilience
6 Against Climate Effects. It's a CDC-funded program through
7 which we provide technical assistance for climate
8 adaptation to local health departments to enhance
9 resilience at local levels, and one of the products that
10 I'll be talking more about today, and that the CalBRACE
11 Program has produced, is the Climate Change and Health
12 Vulnerability Indicators. This is a curated list of
13 indicators for the entire state, to help identify
14 vulnerable populations and to assist in local adaptation
15 planning to protect human health.

16 I'll start by talking briefly about some of the
17 impacts of wildfire. By "direct" in this case, I mean
18 local impacts, obviously burns, injuries related to burns,
19 heavy smoke inhalation, and in the most serious cases,
20 death can occur for residents that live in close proximity
21 to wildfires.

22 Obviously, loss and displacement are traumatic
23 stresses that residents can suffer and deal with for the
24 rest of their lives, and then there's serious occupational
25 hazards for the people who are trying to protect

1 communities from fire, in part because of their proximity
2 to the fires, the dangerous jobs that they take on.
3 Obviously, burns, smoke inhalation are part of that as
4 well.

5 The burden on the healthcare system is another
6 impact that can impact health, so it's a critical
7 infrastructure, the healthcare system, that can be directly
8 impacted by the burden of people reporting to the emergency
9 room to report burns or respiratory problems, for example.

10 Other indirect impacts related to wildfires
11 relate to smoke, as we heard earlier. Obviously, smoke
12 doesn't stay in one place, so exposures can occur hundreds
13 of miles downwind. We've talked today about particulate
14 matter and carbon, and, obviously, these exacerbate
15 respiratory conditions like asthma, heart conditions like
16 cardiovascular disease, as I mentioned, the burden on the
17 healthcare system.

18 Other indirect effects relate to the watershed
19 when rains fall on burned areas, as erosion leads to these
20 watersheds. Also, there are toxic exposures that can
21 happen during cleanup of fire-damaged areas.

22 At the California Department of Public Health, we
23 just published a study of the 2007 firestorm in San Diego.
24 This is a five-day illustration of the pattern of smoke
25 concentrations moving across that county, and you can see

1 the burn scar in the hatched area there. So, obviously,
2 smoke moves around. It moves from place to place.

3 In this particular study, we found that 136
4 percent of emergency -- or we found that emergency room
5 visits, I'm sorry, for children aged zero to four went up
6 136 percent during the fire period, and this was even
7 higher for children zero to one years old, that is, 243
8 percent.

9 Now, when we talk about vulnerability, we usually
10 use a framework that encompasses these three components.
11 The flipside of vulnerability is really talking about
12 resilience, and it's important to consider all of these
13 things together, because they act together, synergistically
14 or antagonistically, to really create greater vulnerability
15 and hazard for certain communities.

16 Sensitivity relates to -- I'm sorry. Exposure
17 relates to sort of proximity and timing between the climate
18 hazard and population. Sensitivity can relate to factors
19 that make people more sensitive to the hazards that they're
20 experiencing or are exposed to, and then capacity could be
21 the -- relates to the ability for people to cope with those
22 hazards that they face.

23 This may be access to resources, connectivity to
24 receive protective information, or their ability to retreat
25 or escape climate threats. The combination can really

1 explain why certain communities face a much greater risk
2 from climate change than others.

3 We operationalize these components in our Climate
4 Change and Health Vulnerability Indicators with these
5 domains of environmental exposure, population sensitivity,
6 and adaptive capacity. You can see that we provide a web
7 site, and we make these resources available for different
8 geographies across the state.

9 I'll talk a little bit about some of the data
10 that we have in that indicator set. In terms of exposure,
11 when we look at the population who lives in very high-risk
12 wildfire zones, it's about seven percent of California's
13 population, but, of course, this is not distributed evenly
14 across the state. It's not that every census tract or
15 every county has seven percent of its population.

16 To sort of describe the concentration of people
17 in high-risk wildfire zones, we looked at the census tracts
18 across the state where a majority of people live in a
19 high-risk wildfire zone. Those census tracts are about
20 seven percent of the more than 8,000 tracts, but they
21 contain about 70 percent of the people who are at risk. I
22 think this is an important point, because it helps to
23 target interventions. It can also be -- it can also
24 suggest that there are probably communities that can come
25 together around collective action to motivate toward ideas

1 that might help protect them in the face of wildfire.

2 With regard to sensitivity, we looked at aging
3 populations. Another study that looked at the 2015
4 wildfire season in California found that those over the age
5 of 65 are particularly vulnerable or susceptible to adverse
6 health outcomes related to wildfire smoke. That study
7 found that a 22-percent increase in coronary heart disease
8 and 42-percent increase for heart attacks occurred one day
9 after exposures to dense smoke related to wildfires.

10 In these counties -- or, I'm sorry, the census
11 tracts -- that we looked at, where a majority of the people
12 live in a high-risk wildfire zone, those people are 1.5
13 times as likely to be over the age of 65 than in the rest
14 of the census tracts in the state. So not only is there a
15 concentration of people in certain places that are at high
16 risk for exposure to wildfire, but in those places, we see
17 concentrations of a population that's increasingly
18 sensitive to wildfire smoke.

19 I don't need to, probably, tell many of you, but
20 California is also aging. Certainly some people in the
21 room probably feel older than when I started this
22 presentation, but this is a population pyramid (indicating)
23 from 1940 all the way to 2060 for the state of California,
24 and, as you can see, the top of the pyramid, which are
25 older ages, from 60 to 100 years old, for both men and

1 women, is getting wider and wider.

2 These are growing parts of the California
3 population distribution. So that's not great news, because
4 there's a confluence between increasing wildfire risk, as
5 the climate changes, as well as demographic shifts that may
6 make us more vulnerable.

7 Finally, with regard to capacity, even though
8 capacity -- factors that define capacity, such as mental or
9 physical disability, the ones I'll talk about right now,
10 may be concentrated in high-risk wildfire places across the
11 state, more than other parts of the state. There are
12 pockets where we see those two things come together.

13 When we look at every county in the state, and we
14 begin to look at the percent of the people in those
15 counties that have a mental or physical disability, and the
16 percent of those people that live in high-risk wildfire
17 zones, we do see some stand out. The orange counties
18 marked on this plot (indicating) show counties that are in
19 the top third for both of those indicators. Here they're
20 shown on the map in the purple areas. These are largely
21 northern forested Sierra counties.

22 Again, we have a number of resources that we make
23 available through our web site. I would also promote the
24 Adaptation Clearinghouse. We have suggested a number of
25 resources to that, and included in that are some resources

1 that I can talk more about, such as CASPERs, which are
2 Community Assessment for Public Health Emergency Response.

3 Those have been done for drought in the state of
4 California. They've been done for other things, like
5 earthquakes in California, but these are things that can be
6 done relatively quickly with the help of CDPH and our
7 environmental health investigations branch, to help
8 communities understand how people perceive risk, how they
9 plan to deal with risk, what gaps exist within their
10 planning, and I encourage people to look at those if they
11 have a chance or are interested.

12 Surely planning efforts should be taken to
13 protect human health from wildfire risk in California.
14 More effective measures and plans will consider the
15 specific exposure, sensitivity, and capacity to provide for
16 the most vulnerable people among us, but the most effective
17 measures will work to rethink and change the ways that
18 systems create and foster inequities in society, and that's
19 what our office at CDPH hopes to do. Thank you.

20 MR. MCCORMICK: Good afternoon. I'm Michael
21 McCormick with the governor's Office of Planning and
22 Research. I want to talk a little bit about the General
23 Plan Guideline, some of the guidance that's in that
24 document, and how the state has been working with some of
25 our local partners to address some of the proactive

1 planning around climate change, and there's been a lot of
2 work that's been taking place over the past few years, for
3 obvious reasons. There's been a lot of interest in local
4 governments in dealing with fire risk, and the drought has
5 certainly added to that, and the flood risk that also comes
6 from both drought and fire.

7 The General Plan Guidelines is probably the first
8 thing that comes to mind from local governments when it
9 comes to planning guidance from the state, because it
10 really is the guide for how local governments build their
11 local goals and policies and actions around land use and
12 communities, community growth, community development, where
13 things go and why they go there, and in 2017, we published
14 a comprehensive update to the General Plan Guidelines.

15 We updated all of the mandatory chapters, and
16 added a number of optional chapters as well on health,
17 equity, climate change, and it's now a light, 470-page
18 document. I think many folks asked us to make it shorter.
19 Many folks asked us to make it longer. But, for the most
20 part, people asked us to add more content, but make it
21 shorter. So we had a nice balance.

22 I think we do a lot of external references, to
23 make sure that we're connecting to the most current
24 resources, and we're committed as OPR to doing a regular
25 linkup date, and making sure that those offline resources

1 are continuing to be updated over time. So far, we've been
2 hearing it's a helpful document.

3 There's a couple of significant changes in this
4 document as it relates to wildfire risk and how communities
5 might be able to respond to respond to that, so I just
6 wanted to make a couple points on that.

7 First is our general plan data mapping tool.
8 Local governments have often struggled with identifying
9 data layers that are authoritative in nature without their
10 consultants actually building those or finding them for
11 them, so one of the things we wanted to do is provide many
12 of the data sets that local governments already need,
13 through a single portal.

14 This is a -- the state's geoportal has actually
15 allowed us to build this, because of the architecture built
16 into that for APIs and web services, and anybody can use
17 this data to help support their own local tools as well,
18 and we're hearing good feedback on this, and we'll need to
19 continue to update this over time to add more data and more
20 information as well, but this is one place where we're
21 connecting to Cal-Adapt, My Hazards, and the My Plan tool.
22 My Hazards and My Plan are both Cal OES-managed tools
23 looking at hazards.

24 The safety element. One of seven mandatory
25 elements is the location where most of the wildfire risk

1 and climate change adaptation discussions are held.
2 Admittedly, climate change and wildfire are subjects that
3 really connect to every aspect of local government
4 planning, and, I think as we've heard with the other
5 presentations, for energy, for example, there's a cascading
6 effect. If energy fails, you have multiple failures
7 throughout the system at a local level.

8 I think one of the things that's notable here is,
9 that about 10 percent of the jurisdictions in the state
10 have updated their planning documents since the 2015 fire
11 technical advisory was released. So we have about 90
12 percent of the jurisdictions in the state that have likely
13 not addressed wildfire in accordance with the most recent
14 guidance.

15 So this version of the safety element, the 2017
16 update, included updates on legislation, technical advice,
17 including the fire hazard planning technical advice series
18 from OPR, better coordination with local hazard mitigation
19 plans. This has been a goal of OES and OPR for quite some
20 time. So we were able to build some additional content in
21 there, and there's incentives for local governments to
22 provide those connections.

23 Consistency across LHMPs and general plans is
24 really important, because, when you're responding, and
25 you're doing both proactive planning and responding to

1 incidents, it's important to have your documents be
2 consistent.

3 There's a new section on climate adaptation and
4 resilience. SB 379, which was passed in 2015, requires
5 adaptation and resilience in general plans. I'll get to a
6 little bit more on that in a second. There's a number of
7 internal and external linkages and resources that we
8 connect to.

9 We coordinated quite a bit with internal efforts
10 that were aligned and concurrently being updated, including
11 Cal-Adapt, the Adaptation Planning Guide, the development
12 of the Integrated Climate Adaptation Resiliency Program,
13 the Technical Advisory Council, and the Adaptation
14 Clearinghouse that goes along with that, and then, also,
15 the Safeguarding California Plan, which is a really
16 critical component on how the state sees our work on
17 adaptation statewide.

18 So a few things on fire safety specifically in
19 the safety element. We added additional narrative on
20 drought and climate change, land use, and other general
21 plan elements that are affected by fire, which is pretty
22 much all of them, one way or another.

23 Wild land and urban interface. The WUIs, I
24 think, have come up quite a few times today, and our
25 objectives around in-field development, density, compact

1 growth, all of the state planning priorities, when they
2 come down to these issues, also greatly benefit wildfire
3 risk reduction, at least in new development.

4 Regional water planning, and making sure we're
5 looking at precipitation and how we're implementing our
6 water planning initiatives, the drought toolkit and other
7 state resources on drought, because those are directly
8 connected to wildfire risk, and the Fire Hazard Planning
9 General Plan Technical Advice Series, which is kind of a
10 mouthful, but the final version of this was adopted in
11 2015, or moved forward in 2015.

12 We talk about land-use management and siting in
13 there. We include external references, data, guidance on
14 how to look at wildfire risk, programs in support. We have
15 goal and policy examples from communities across the state,
16 and local governments, counties, and cities that are
17 dealing with fire risk.

18 One key point on this technical advisory is a
19 response to state responsibility areas and high-risk fire
20 hazard areas, and I think that what we're seeing in the
21 wildfire discussion today is that wildfire is affecting
22 jurisdictions far beyond those two subcategories of local
23 governments, and so, when we think about how local
24 governments should be planning for fire, this guidance
25 should also be used by those local governments that are not

1 just affected by those two areas.

2 On the adaptation side of things, climate change
3 adaptation is now required. The safety element is the
4 statutory home for it, but we've included adaptation
5 throughout the entire general plan, to take a look at how
6 adaptation and resiliency efforts affect the various other
7 elements, and we support incorporation across other plans
8 and programs within local governments.

9 If it's just in your general plan, it's probably
10 not going to happen. It has to be promulgated in zoning
11 codes, in facilities planning, in management programs, et
12 cetera, so really looking at some of the co-benefits and
13 cross-linkages. We tried to make the connection for local
14 governments, to help support some of that work.

15 Some distinct actions that are required as a part
16 of this is reviewing, doing a gap assessment of what's been
17 done, what's still needed. There's quite a few specific
18 requirements in this legislation on how you plan for the
19 future, assessing community vulnerability, creating and
20 setting goals, policies, and actions, and then developing
21 feasible implementation measures.

22 So, every five years, five to eight years,
23 depending on the update cycle, the housing element is
24 updated. Your safety element also needs to be updated to
25 address fire and flood every five years as well, and every

1 time your local hazard mitigation plan is updated, your
2 adaptation discussion also needs to be updated. So we're
3 hoping to see regular updates to this chapter every five to
4 eight years, based on some of these statutory requirements
5 here.

6 Cal-Adapt and the Adaptation Planning Guide are
7 specifically called out in the statute. So we talk about
8 them, and we've worked with CEC staff and university
9 contractors, as well as OES, on the Adaptation Planning
10 Guide, which is continuing to be updated, with a hopeful
11 draft next year, as we update that to respond to the new
12 mandates. When this was first released in 2012, it was
13 optional, and now, instead of it being something that is
14 good to do, now it's something that local governments have
15 to do.

16 On the data requirement side, very significant,
17 specific data requirements within the legislation and in
18 the statute lines up very nicely with the same language in
19 local hazard mitigation plans, on purpose, and on the
20 goals, measures, and implementation side, looking at how
21 risks, particularly long-term risks from climate change,
22 affect various aspects of communities.

23 Just one perspective on local hazard mitigation
24 plans as well. We've worked with OES to help align a
25 number of our initiatives. They also see direct

1 connections to legislation that applies to general plans,
2 including the SB 379 adaptation requirements, through
3 consistency with the state hazard mitigation plan, and
4 those adaptation narratives in there. They also are
5 requiring local hazard mitigation plans to be consistent
6 with that state plan. LHMPs don't specifically require
7 adaptation and resilience be addressed, but certainly fire
8 is something where you have to have a longer-term
9 perspective on how changes are taking place.

10 AB 2140, which is the alignment between local
11 plans and local hazard mitigation plans and general plans,
12 provides incentives for communities that are going through
13 that process, and then SB 1241 again revises the safety
14 element requirements of general plans to address fire risk,
15 but also affects local hazard mitigation plans, and LHMPs
16 can both use that information and can support that
17 information in the general plan. So there's a lot of
18 connections there.

19 The Adaptation Clearinghouse that I think has
20 been mentioned a couple of times, it's a really critical
21 resource moving forward to help align all of these
22 resources and put them in one place. We hear this a number
23 of time from our local governments over the years, that,
24 from the adaptation standpoint, resources were spread
25 across multiple agencies, and there was no single point to

1 access those, and so this is a fantastic resource emerging
2 from that, in addition to the Technical Advisory Council,
3 which is providing guidance on next steps on adaptation in
4 California.

5 The Adaptation Forum is providing a venue for
6 adaptation practitioners in California to talk about what
7 comes next and how they can work together on things. It's
8 coming up in a few weeks, here in Sacramento. And then
9 partnerships have been really critical for our success as
10 well. As you may know, our capacity is limited at OPR. We
11 have a limited number of staff. We have a wonderful
12 interagency team working with us at the state to help work
13 with our local partners, but our external partners, through
14 the CivicSpark AmeriCorps program, through the Alliance of
15 Regional Collaboratives for Climate Adaptation, you know,
16 these types of partnerships are really important, so that
17 we are working with locals to understand what they need,
18 and then they're helping us to provide information to their
19 communities.

20 So some of the ongoing efforts -- longer-term
21 case studies have been really critical. We continue to
22 hear folks want to hear more examples of where things have
23 been done. Many of our communities don't want to be the
24 first one to put their foot forward, so it's really
25 important that we're showing examples of where programs and

1 policies are effective and actually working.

2 We need to continue to improve our data guidance
3 and alignment, but I think one of the key things that --
4 local governments are burdened by a number of update cycles
5 and new requirements that come out of Sacramento. We
6 understand that, but having, you know, 10 percent of local
7 governments only having the newest requirements in place,
8 and guidance in place on fire, is problematic, because that
9 means that 90 percent of the communities in the state
10 probably do not have the proactive planning in place to
11 address many of the risks that they're facing from
12 wildfire, so trying to identify opportunities to support
13 local government plans and programs being updated to
14 reflect the most current guidance is certainly a priority.

15 So I'll leave it there, and happy to answer any
16 questions.

17 CHAIRMAN WEISENMILLER: Yes. I did want to just
18 make sure we're giving people a road map of where things
19 are going from here, and you mentioned the Adaptation
20 Forum, and just to draw the connection back to the Fourth
21 Climate Assessment, in that context.

22 MR. MCCORMICK: Yes. So the California
23 Adaptation Forum is serving as a venue for the release of
24 the Fourth Climate Assessment. There's a half-day workshop
25 on the first day of the Adaptation Forum to release the

1 findings, the regional reports, the statewide report. It's
2 a really exciting opportunity to have all the climate
3 change adaptation and resilience practitioners in the
4 state, in one place, to participate in this type of really
5 significant workshop. There's a number of other workshops
6 as well, topically focused. Probably about half the
7 session have a significant state component. So there is a
8 significant voice local governments and practitioners have
9 in the discussions that are taking place at the forum, to
10 both inform state policy, but also for us, as the state, to
11 be able to inform and support our local partners.

12 CHAIRMAN WEISENMILLER: Yes. And, Susan, if you
13 or Pam -- probably this is a good spot to spell out the
14 National Academy event, and also the event we're going to
15 do as part of the Fourth Assessment, looking at the impacts
16 of climate change on the energy system.

17 MS. WILHELM: I'll let Pam say more.

18 CHAIRMAN WEISENMILLER: Just, again, more of a
19 road map for people, so they know what's coming next.

20 MS. WILHELM: It's coming up on August 14th and
21 15th. It will be webcast, and I'll let Pam speak.

22 MS. DOUGHMAN: Hi. Yes. On August 14th and
23 15th in Washington, D.C. My name is Pamela Doughman. I'm
24 an advisor to Chair Weisenmiller here at the Energy
25 Commission. August 14th and 15th, the National Academies

1 will be holding an event looking at climate change
2 assessments in California, as well as some other national
3 assessments, and there will be some discussion of national
4 assessments as well, and that will be webcast.

5 Also, on August 30th, we're having a workshop
6 here at the Energy Commission, and we'll be talking about
7 the energy-related impacts of climate change and the
8 findings from the Fourth Assessment, and we'll be talking
9 about the findings, as well as key stakeholder groups and
10 how they might be affected.

11 CHAIRMAN WEISENMILLER: Okay. Great. Thanks.
12 And one other question for you in terms of PR. Obviously,
13 we've had some communities that have been hard-hit, and
14 they're in the rebuilding process. What sort of activities
15 does the state have, or, you know, OPR have, to help people
16 in that rebuilding mode? Obviously, there's a tension
17 between just doing it fast and trying to build a more
18 resilient community.

19 EXECUTIVE DIRECTOR ALEX: Yes. This is a huge
20 challenge, and so I mentioned earlier the effort around the
21 Rim Fire, rebuilding the community. We're hoping to use
22 that as a pretty significant example for our forest
23 communities.

24 We are working -- we've done quite a lot of work
25 with Sonoma, and last year's fire, on a more urban setting,

1 and working with them on the potential for changing their
2 housing mix and their densities, and some of the CEQA sets
3 of issues that have come up, and I also mentioned the issue
4 around financing, which I think comes into play here in a
5 very big way for communities that need to rebuild. And so
6 all of that is available, documentation related to
7 everything that I mentioned, and quite a lot more, on what
8 Michael just mentioned, at "ResilientCalifornia.org."

9 MR. MCCORMICK: "ResilientCA.org"?

10 EXECUTIVE DIRECTOR ALEX: "ResilientCA.org,"
11 which is the Clearinghouse for local government, and that's
12 a lot of the focus.

13 MR. MCCORMICK: And just a quick addition to that.
14 I think we're recognizing that if local governments don't
15 have plans and programs in place before a fire happens,
16 typically, the recovery effort that takes place -- you
17 know, there's significant concerns about getting people
18 back in their homes, getting businesses back up and
19 running, and we can see, if folks aren't proactively
20 planning for these disasters, that the recovery efforts --
21 they slow down, first of all, and, secondly, there's no way
22 to avoid maladaptation. So you're putting the buildings
23 and facilities back in the same places.

24 There's concerns about displacement and
25 environmental justice. Vulnerable communities is something

1 that we've been working on quite a bit, and I didn't
2 mention this during the presentation, but Senate Bill 1000,
3 which passed a couple years ago, the guidance on that is
4 coming out this year. We've also recently released a
5 guidance document on vulnerable communities as it applies
6 to climate change, through the Technical Advisory Council.

7 So these documents -- in connection with the
8 General Plan Guidelines, we are trying to build a better
9 narrative for how local governments should be considering
10 environmental justice and equity in their proactive
11 planning. However, if these communities aren't updating
12 their general plans, and aren't updating their local hazard
13 mitigation plans, they don't have the capacity or the
14 knowledge to be able to move forward effectively after a
15 disaster without really significant help.

16 I think one example from Sonoma that we found is
17 they've developed a number of emergency ordinances and
18 processes that they have done an amazing job of doing
19 really quickly, but we're looking at using some of those
20 examples and templates, referencing those in the General
21 Plan Guidelines, because they learned the hard way on how
22 to do something really quickly, and we want to make sure
23 we're applying those lessons learned to the guidance that
24 we're providing other local governments.

25 COMMISSIONER HOCHSCHILD: So I have a question.

1 I'm not quite sure who it's for -- it may be for you, Ken,
2 or others -- which has to do just with potential changes in
3 firefighting techniques. I was a firefighter for four
4 years when I went to college, at the volunteer fire
5 department in Pennsylvania, and one of the things you
6 see -- residential structure fire is a big reduction over
7 time, because of changes in building design and materials,
8 as well as reduction in smoking, actually, which has quite
9 a big effect on ignition.

10 For forest fires, I'm just curious, in talking to
11 the firefighting community, are there any changes in
12 approaches and strategies that we can expect? I mean,
13 obviously, they're doing a lot more aerial techniques and
14 so on, but are there any innovations coming that might help
15 us, you know, kind of raise our game? I have not heard
16 anything about this. I'm just really exploring if you're
17 aware of anything that's being discussed.

18 EXECUTIVE DIRECTOR ALEX: I happened to go into
19 the Inyo National Forest last week, to visit the California
20 Conservation Corps, and, not surprisingly, this was a topic
21 of conversation. There's a training facility in Camarillo
22 that the Conservation Corps uses, and the Forest Service.
23 I guess our Forest Service guy isn't here anymore, but, you
24 know, they're finding with these massive fires that they're
25 creating new weather patterns within the fire system, and

1 we heard a little bit about that this morning, and there
2 are techniques that are being developed to try to deal with
3 this, and, you know, each fire season now seems to be
4 unprecedented, and my understanding is that they're
5 starting to incorporate new techniques. I am clearly not
6 an expert on this, but I'm just passing along what I heard
7 last week.

8 MR. MCCORMICK: Well, from the built-in
9 environment standpoint, many new developments and major
10 remodels are required to provide sprinklers, even in
11 residential, in many counties, not all, for sure, and
12 provide excess water storage beyond what they would need
13 for, necessarily, potable or landscaping water that is
14 gravity-fed, and so we're seeing this promulgate through
15 local ordinances, materials that are fire-resistant, and
16 even probably one of the biggest ones, which is making sure
17 there are screens in vents for attics. You know, that's
18 one of the biggest ways that ash and embers get into
19 buildings and create new fires. So something as simple as
20 making sure your screens are repaired properly and quickly
21 in your attic vents is a really important, seemingly, you
22 know, minor issue, but it can significantly affect the risk
23 to those developments.

24 CHAIRMAN WEISENMILLER: In terms of your
25 guidance, does it differentiate between high fire risk

1 areas and the rest of the state?

2 MR. MCCORMICK: It does. So the legislation that
3 required us to do the technical advisory is specific to
4 SRAs in high fire hazard areas. I think, from my point a
5 little bit earlier, the fires we're seeing now are far
6 exceeding those two areas, and we should really think about
7 making sure that we're providing guidance for areas of the
8 state that are outside of those two areas.

9 In the 2017 General Plan Guidelines Update, we do
10 talk about how you can use that guidance document through
11 other parts of the state as well, to inform decision
12 making, and there are some specific considerations in the
13 fire section, the safety element and the fire discussions
14 and local hazard mitigation plans, that do apply statewide,
15 but some of the stronger guidance is specific to SRAs in
16 high fire risk hazard areas.

17 CHAIRMAN WEISENMILLER: Great. Thanks.

18 MS. WILHELM: We do have a third speaker for this
19 panel. Jana Ganion is joining us from Blue Lake Rancheria.

20 MS. GANION: Hello. This is Jana. Hello, this
21 is Jana.

22 MS. RAITT: Can you hear us? Go ahead, Jana.

23 MS. GANION: Hi. Can you hear me okay?

24 MS. RAITT: Yes.

25 MS. GANION: Okay. Great. So, first, thank you

1 all for supporting my remote participation. It saves me 13
2 hours of driving through wildfire country (indiscernible)
3 south of us. I echo Jason's --

4 MS. WILHELM: Jana, you dropped off for just a
5 minute after "driving through wildfire country." So, if
6 you could rewind just a moment. Thank you.

7 MS. GANION: Sure. Is this a better connection?

8 MS. WILHELM: Much.

9 MS. GANION: Great. So I do echo Jason's
10 comments that these are tragedies that are unfolding all
11 around us. We thank the emergency responders. We are
12 doing everything we can regionally here to support people
13 who are impacted by these fires.

14 I am Jana Ganion. I'm the sustainability
15 director for the Blue Lake Rancheria tribe. We work
16 closely with the state of California on a number of climate
17 issues, and we also sit on the National Tribal Energy
18 Working Group with the Department of Energy, and so we are
19 pleased to be a part of this discussion.

20 Today we're addressing actions to address
21 wildfire risks for vulnerable populations in critical
22 facilities, and I'm going to focus on electricity, but,
23 also, we were asked to provide some recommendations, so
24 we'll get into a couple of those as well.

25 Could I have you go to slide two, please, "Key

1 Points."

2 So I will, during my comments today, highlight
3 how microgrids and distributed energy resources, or DERs,
4 in our experience, have successfully provided electricity
5 during disasters. I will talk a little bit about the two
6 scales of low-carbon microgrids we have at the Blue Lake
7 Rancheria.

8 We were also asked for recommendations on
9 high-priority actions to combat wildfire and improve our
10 energy resilience, so we put some thought into that as
11 well. So, obviously, at the core, we need to continue to
12 fight the underlying problem of climate change. To do
13 that, we would support rapid deployment of zero-carbon
14 distributed energy resources and microgrids for their
15 proven effectiveness, at least in our community, and
16 increased support for truly zero-net-carbon sources of
17 energy.

18 For example, even with the most conservative
19 estimates, solar has paid off its entire carbon debt
20 industry-wide as of 2018. So every panel we add from now
21 on is actually reversing climate change, and we are adding
22 172 panels at the Blue Lake Rancheria this month.

23 We also need to analyze and perhaps delist
24 sources of power from the RPS to ensure our GHG reduction
25 numbers are accurate, and we can incentivize energy that is

1 truly the lowest cost, highest benefit. I bring up biomass
2 as something that should be examined, and also addressed
3 with a carbon-intensity life cycle analysis, like we
4 already do in California with the low-carbon fuel
5 standards.

6 Finally, we'll briefly present one idea for a
7 landscape-level approach to wildfire pre-suppression that
8 could make use of high-hazard fuels and vegetation, and it
9 focuses on biochar.

10 Next slide, please.

11 So in front of you should be a map of where we're
12 located. Our location is a big driver in our resilience
13 strategy and planning. We are rural, geographically
14 isolated, in a heavily forested area, and obviously prone
15 to wildfire. We're also five miles inland from the Pacific
16 Coast tsunami zone, in one of the most hazardous seismic
17 areas in the world, and there are multiple and varied
18 vulnerable populations here, including over 10 tribal
19 nations in Humboldt County alone. People are in remote and
20 often impoverished areas, without access to services, and,
21 also, they are in wildfire country.

22 Next slide, please.

23 So our localized impacts, amplified by climate
24 change, also drive our resilience strategy. We are
25 experiencing all of the items on this list, and the photo

1 here is of a very close call for us. This was about a
2 25-acre wildfire that blew up last October, directly across
3 from the Blue Lake Rancheria and the City of Blue Lake.

4 Thankfully, due to quick action by the
5 responders, no one was hurt, but it is another data point
6 that the wildfire threat is year-round, costly, and really
7 everywhere in California, and the new normal for us, and I
8 can still see the charred trees from this wildfire from my
9 desk.

10 We did have an electricity outage during this
11 wildfire event, and our community-scale microgrid performed
12 successfully, so much so that we didn't even know we had
13 islanded until California Energy Commission Chairman Robert
14 Weisenmiller mentioned it in a meeting, and we found out
15 about that, and then double-checked, and, sure enough, we
16 had sailed through this event due to our microgrid and the
17 electricity that it provided to our critical
18 infrastructure.

19 Next slide, please.

20 So, moving on to what we have done at Blue Lake
21 Rancheria to, hopefully, inform some things we can do
22 across the state, a couple of weeks ago, I was speaking to
23 a group of utility commissioners nationwide, and I
24 described our microgrids at our fuel station convenience
25 store and our casino and events center, which doubles as an

1 American Red Cross shelter, and one of the comments from
2 one of the commissioners back East was "You know, I've
3 never thought of gas stations and casinos as providing
4 critical infrastructure before."

5 Well, we can confirm that they do, and it's
6 important to keep in mind, within a wildfire prevention
7 regime, and for rural and vulnerable population resilience
8 in general, here at the Blue Lake Rancheria, we take a
9 lifeline sector approach. Some of you have heard me talk
10 about this before, but we make our energy, our water, our
11 food, our communications and IT and transportation systems
12 as robust as possible, as a defined and planned strategy.

13 We always start with energy, because that
14 lifeline sector supports all the others, and we achieve
15 electricity for our critical infrastructure with solar and
16 battery-storage microgrids that can operate in both
17 grid-connected and islanded modes.

18 Our first microgrid is now complete and operating
19 successfully, and it powers a six-building campus of our
20 critical facilities, our government office, our hotel, our
21 casino, restaurants, event center, which, again, as I said,
22 has a dual purpose as an American Red Cross shelter, and
23 the supporting infrastructure for all those facilities.
24 The main distributed-energy resources for this microgrid
25 are a half-a-megawatt solar array and one-megawatt hour of

1 battery storage, which we are doubling this year thanks to
2 S-Chip (phonetic).

3 Our second microgrid, in construction, literally,
4 as we speak, is our fuel station convenience store complex.
5 We also are using solar plus battery storage here, with
6 advance building controls for energy efficiency. This will
7 also operate in grid-connected and islanded modes, and will
8 become a resilience package that's replicable across the
9 12,000 similar facilities in California. Fuel stations are
10 certainly critical infrastructure, especially in rural
11 areas, where they may be the only infrastructure capable of
12 supporting the other lifeline sectors.

13 These microgrids, in turn, support the other
14 lifeline sectors in our community. We have a smart water
15 grid. We have onsite food production. We have
16 transportation, and the microgrid powers four of our
17 electric vehicle charging stations. We have robust
18 communications and IT services and infrastructure,
19 including the ability to interact with other emergency
20 responders during wildfires and, you know, the details,
21 like charging those most important emergency radios.

22 These microgrids are partially funded by the EPIC
23 program, and would not have been possible without our
24 partners, including the CEC, the Schatz Energy Research
25 Center, PG&E, Siemens, Tesla, and local contractors like

1 Colburn Electric.

2 Next slide, please.

3 So I'll just kind of breeze through this fast, so
4 that we can get to questions, but actions and
5 recommendations, I have two slides on this. As we
6 discussed, one foundational piece of wildfire suppression
7 is to reverse climate change, bring down temperatures,
8 decrease drought. These are among the conditions that have
9 led to these massive wildfires burning right now, and, in
10 the meantime, we need to pair zero-carbon wildfire
11 mitigations and adaptations that do not make the core
12 climate change problem worse.

13 We recommend continued development of zero-carbon
14 distributed-energy resources with microgrids, as feasible,
15 and we have to look carefully at the economics of those.
16 Sometimes you can just put, you know, solar and battery
17 storage in, without a microgrid control system. And we
18 need to support new technology, such as offshore floating
19 wind, that particular technology for its superior capacity
20 factor.

21 This DER development supports statewide wildfire
22 initiatives under consideration, like periodic deenergizing
23 parts of the grid. When you have these microgrids, and you
24 have communities or specific facilities, or even homes that
25 are able to, obviously, withstand periodic de-energization

1 of the lines, that's going to be a robust way to get
2 through some of these wildfire events, and we are going to
3 be able to prevent them as well.

4 DER deployment also creates jobs, and we're
5 recommending supporting that, especially in rural and
6 vulnerable population areas, where we need to build more
7 capacity so local people can solve local problems,
8 including wildfire. We need accessible training programs.
9 I'll give you an example. The nearest electrician training
10 course is a 6.5-hour drive from us, one way. So the tribe
11 is focused on bringing targeted workforce development
12 resources to our region, specifically to support the energy
13 sector.

14 We recommend using the RPS more aggressively to
15 drive the energy sector to further GHG reductions, using
16 proven zero-carbon sources. I use biomass as an example of
17 an energy source in need of critical review for its RPS
18 eligibility, and just let me take a couple minutes, and beg
19 your patience, to let you know why.

20 We have a lot of experience with biomass power,
21 and we've researched it carefully, and, based on the
22 findings that we have found, we would recommend removing
23 it, due to lack of carbon life cycle analysis, significant
24 risk that biomass is perhaps muddying California's actual
25 progress on GHG emissions. It may be that these reductions

1 assigned to biomass energy are partially or even totally
2 inaccurate.

3 Carbon life cycle analysis requires
4 plant-by-plant calculations that address the extreme
5 differences in types of fuel, trucking distances,
6 emissions, noncompliance emissions, short-lived climate
7 pollutants, and a range of other factors that are not
8 currently being considered. The assumption that biomass
9 energy is carbon-neutral simply cannot be made.

10 You know, further, many plants are aged. The
11 entire energy sector has difficulty staying in compliance
12 with environmental laws, and biomass plants create air
13 pollution. Their toxic hazards really equate to coal
14 plants and wildfire smoke. So, when we look at these
15 sources of energy, we need to really carefully look at them
16 in the way that we do, typically, in California. We
17 usually bring, or have brought, a carbon-intensity
18 framework to the fuel standard. We need to bring that
19 framework to biomass power, at a minimum.

20 California and CARB have done this already.
21 There is a lot of expertise in California that can do life
22 cycle accounting for biomass liquids, so we just need to
23 bring it to biomass solids, and because biomass represents
24 only about six percent of the renewable energy mix in
25 California, with about 105 biomass plants in total, we can

1 get our arms around this, and this analysis can be done.

2 There are a couple of other points there, that
3 biomass itself is a fire -- you know, these plants
4 themselves have fire risks, including dust explosion risk,
5 but we want to bring attention to this one part of the
6 energy sector as a way we can drive down the causes of
7 climate change even further, potentially.

8 Next slide, please.

9 So, turning from a zero-carbon RPS, we have one
10 idea that I think has been -- you know, we have a lot of
11 expertise in this area, too, in California, but maybe it
12 hasn't risen above the fold in terms of, maybe, a
13 landscape-level concept to combat wildfire, and that is
14 this idea of biochar.

15 So biochar is an ancient technique that has been
16 improved with modern machinery and thinking. Taking
17 biomass, heating it to drive off the volatiles and
18 moisture, grinding the residual material into
19 coffee-ground-sized particles, for example, and spreading
20 and tilling that material into the soil is worth examining
21 for a wide range of co-benefits that will help also address
22 wildfire risk. By adding biochar to soils, the soils hold
23 more water, retain more nutrients. Working biochar into
24 the soil is also a carbon sequestration strategy.

25 So the U.S. Forest Service, USDA, Humboldt State

1 University, among many other agencies and entities in
2 California and Oregon, have researched the efficacy of
3 biochar to remediate soils, say, after clear-cutting, and
4 as an economic use for hazardous understory forest fuels.
5 The results of the research is highly promising, in our
6 review of it, and I've listed a couple resources on the
7 slide here, and I highly recommend reaching out to the
8 researchers involved for more information.

9 Wildfire is clearly for us now a landscape-wide,
10 landscape-level threat, and it requires bold, creative
11 solutions. We envision a public/private partnership akin
12 to the public/private partnership that finally brought the
13 dust bowl under control in the plains, to convert forest
14 fuel to biochar, create buffer zones, sequester carbon, and
15 make us more wildfire-resilient in the process.

16 Excess biochar could be sold into the ag sector
17 as a soil amendment. Biochar initiatives could be included
18 in the carbon forestry offset protocols. California and
19 Oregon, as I said, are leaders in this industry. We should
20 take advantage of the expertise, like the carbon-intensity
21 life cycle or accounting expertise we have here, and see if
22 we can craft a landscape solution with it.

23 So, in conclusion, climate change is creating
24 chaos across the state, and California is fighting hard
25 against it, and setting the example for the globe. We

1 encourage more zero-carbon distributed-energy resources,
2 especially solar plus storage-based critical infrastructure
3 resilience packages.

4 We encourage a results-based analysis of our RPS
5 portfolio to ensure we are indeed making the progress we
6 claim, and that we're incentivizing the lowest-cost,
7 highest-benefit sources of energy, and we should look to
8 more landscape-level initiatives, and get out in front of
9 the wildfire risk, if we can. We have the expertise we
10 have the will, and we have the public/private partnerships
11 and intellectual know-how to solve these problems.

12 The tribe looks forward to continuing working
13 with the state and all of you in this room on these issues.
14 Thank you very much, and if there's questions, I'm happy to
15 answer them.

16 CHAIRMAN WEISENMILLER: Thank you. Let's move on
17 to the next and last panel.

18 MS. RAITT: Okay. So our next panel --

19 CHAIRMAN WEISENMILLER: We can check and see if
20 the court reporter needs a break.

21 MS. RAITT: Okay. So, if I can ask our next
22 panelists to come up to the front tables, and we'll have
23 places for you. Okay. So thank you. So this panel is on
24 risk management for energy infrastructure and operation,
25 and Pam Doughman from the Energy Commission is our

1 moderator.

2 MS. DOUGHMAN: Okay. So we have a number of
3 utilities, and we have a local government, and we have a
4 private company here on this panel today. This is our last
5 panel, and it's a fairly large panel as well. So why don't
6 you go ahead. Introduce yourself, please.

7 MR. D'AGOSTINO: Well, absolutely. Good
8 afternoon, everybody. My name is Brian D'Agostino. I'm
9 now the Director of Fire Science and Climate Adaptation for
10 San Diego Gas and Electric, and what I was going to talk to
11 you a bit about today is, I wanted to get into, you know,
12 some of what has changed at SDG&E, and what we've learned
13 last year.

14 You know, we've been working almost a decade now
15 on implementing a shutoff program and some of these other
16 procedures to minimize the risk of wildfire, and that went
17 into effect in December of last year, where almost 20,000
18 of our customers were impacted by de-energizations. One of
19 the things that we are -- one of the things we've done is,
20 we've developed a new group.

21 We found it necessary to have a department that
22 focuses solely on fire science and climate adaptation.
23 Some of the focuses -- we're going to be looking very
24 closely at the fire science and fire analytics. Another
25 big piece of this group is looking at the community

1 resilience.

2 When we just heard about some of what the tribal
3 communities were doing, it was very impressive, and
4 something we're really driving to build, and a lot of what
5 I'm going to talk about here today.

6 Also, how do we continue to expand the wildfire
7 culture within the organization, and spread it out into the
8 community, as this now is no longer our new normal? This
9 is now the normal that we are operating to, and then
10 continuous enhancements of the community fire safety
11 program. I mean, this year alone, after the wildfire
12 season that we experienced last year that never really
13 stopped into this year, we have dozens of enhancements now
14 that we're making, through lessons learned.

15 Part of what I wanted to talk about and address
16 the large panel in just a few minutes today is really the
17 community resilience piece. One, our ability to
18 communicate. We found that was extremely important last
19 December. So we're making a lot of enhancements, and what
20 it is, is targeted messaging, being able to really hone in
21 on different areas, and communicate different things to
22 different people as it's needed. So that's something that
23 we're looking at quite a bit.

24 Another thing is really developing campaigns to
25 get a lot of our customers to update a lot of their

1 information, make sure that all of our databases and other
2 things are as current as possible, so that we're able to
3 get the right information to the right people. We think
4 that's a critical piece of our de-energization moving
5 forward.

6 Another thing that I wanted to mention was
7 community resource centers, and, again, this is still
8 striving towards that ability to be as resilient as
9 possible, and what this is, is if we end up deenergizing
10 the back-country community, we're going to be working on
11 bringing a portable generator to an area that we've worked
12 on with the community to establish.

13 So we've gone out, had those community meetings,
14 and said, "What is the location?" And then we agree,
15 "Okay. We're going to set it up to make sure that, if we
16 deenergize, we're going to try to bring power to this
17 particular location," and then, through partnering with
18 community partners like the Red Cross and community
19 emergency response teams, provide resources, and agreeing
20 with, again, the last presentation, in some cases, this
21 includes gas stations, and other areas of the communities
22 that would be very critical for them, so certainly I think
23 an important piece of this, as we move into the overall
24 resiliency of the communities.

25 I wanted to talk about the longer-term climate

1 adaptation piece of this, and some of what we're working
2 on, and I think this ties into last week's talk as well
3 with the RD and D, and looking at kind of where are we
4 going, and what is the vision with some of this,
5 integrating UAVs more and more, partly for lidar inspection
6 and data processing, as we heard earlier in some of the
7 presentation. The mobile battery systems are something
8 that we're looking at in terms of increasing resilience.

9 Fire-resilient homes are not only in defensible
10 space, but, as we heard, I think, in our mind, a
11 fire-resilient home also includes, in some cases, that
12 ability to withstand a prolonged outage, especially if
13 these homes are in, you know, far reaches of the back
14 country that are extremely prone to wildfire and prone to
15 extreme winds. That's really what constitutes a resilient
16 home, is that ability to withstand a de-energization or a
17 safety power shutoff. And then there's also engineering
18 technology that we're looking at as well, in terms of
19 falling conductor assessments and other things like that.

20 I'll keep the comments brief, because it is a
21 very big panel, look forward to answering any questions you
22 have, but I'll leave it there.

23 CHAIRMAN WEISENMILLER: You know, I was going to
24 congratulate SDG&E for its activity. As I recall, you were
25 one of the first ones to have drones to use in fire areas,

1 and certainly what you've done on the wind measurement area
2 is another one where you've really been a leader for the
3 other utilities in the state, and certainly encourage you
4 to continue to be innovative, particularly in trying to
5 figure out how to help the central facilities near you when
6 you have to shut them off.

7 MR. D'AGOSTINO: Thank you, Mr. Chairman.

8 MR. DASSO: Good afternoon, everybody. My name
9 is Kevin Dasso, with PG&E. I'm responsible for the
10 electric asset management part of our transmission and
11 distribution business, and before I get started, I also
12 want to echo Jason and Jana's comments from the last panel
13 about just recognizing and acknowledging and sending our
14 thoughts and prayers to those people that are being
15 impacted by the wildfires today.

16 These are our communities. They're our
17 customers, and they're our friends, and in PG&E's case, we
18 have a number of employees that are being impacted by that,
19 and we also have several hundred people there in those
20 areas helping with the response, with responders. So it's
21 very real for all of us, and you can't forget about why it
22 is that we're here.

23 The other thing I wanted to mention is, Brian
24 talked a little bit about what San Diego is doing. I want
25 to emphasize the fact that the three investor-owned

1 utilities have been working very closely together for some
2 time, and particularly real emphasis since last fall and
3 winters with the fires that happened.

4 It is our objective and our goal that all three
5 companies are moving together and implementing the same
6 kinds of programs, learning from each other, and sharing
7 those ideas. One of the beauties of the utility industry
8 that is that we don't compete with each other, and so
9 there's a very strong reason for us to work together, and
10 so we've committed to continue to do that.

11 So let me say a little about -- I'm sure, over
12 the course of the workshop, you've heard a lot about the
13 changes here in the state relative to weather and the
14 conditions that we're dealing with. I'm just going to
15 focus a little bit on the fact that there's many things
16 that we've been doing already, and what we're describing
17 here as our community wildfire safety program is building
18 on that, and looking to do more, working with our
19 communities.

20 We've been out already meeting with communities.
21 In fact, we've done almost 300 of those meetings, in some
22 cases now doing our second round with those folks, as we
23 get closer to some of the details of the plan, seeking and
24 incorporating their engagement in those conversations.

25 The next slide is what we're calling our "pillar"

1 slide, the really three pillars of our community wildfire
2 safety program, and, again, I think you will see the same
3 kinds of elements, as each of the three utilities, the
4 investor-owned utilities, shares our plans here.

5 I do want to highlight a couple of things that we
6 think are particularly helpful for us, and are already
7 playing out for us in this wildfire season. We've
8 implemented a seven-by-24 -- what we're calling a "wildfire
9 safety operations center."

10 This is a group of people whose sole purpose is
11 to focus on situational awareness across our service
12 territory relative to fire activity, leveraging satellite
13 imagery, the kinds of weather sensors and information Brian
14 alluded to, fire detection systems, as well as we have
15 seven aircraft, spotters that are flying every day, looking
16 for conditions that are changing on the ground.

17 This organization, since late June, has been
18 monitoring, on the average, about 35 to 50 fires that are
19 happening every day in our service territory, so we're
20 finding it to be a critical resource for us in managing our
21 response.

22 The other thing is, I want to mention that we've
23 implemented a weather station, similar to what Brian
24 touched on. We have 65 in place now. They're streaming
25 data to the public, so it's available for anyone who wants

1 to see it, and enhancing and increasing our weather
2 modeling.

3 The next pillar is a focus on new and enhanced
4 safety practices. Liza, in her presentation earlier,
5 talked about a need to shift and focus vegetation
6 management away from sort of meeting simply compliance
7 obligations and moving more to fire risk mitigation. We're
8 working with our communities to use our powerlines as fire
9 defense zones, removing fuel under the powerlines, working
10 with them to remove trees farther away from the powerlines
11 to reduce those impacts.

12 We've implemented this year already a practice of
13 disabling reclosing devices, and we are preparing for
14 public safety shutoff events in the event that that
15 happens, and, you know, I want to emphasize that this is
16 really as a last resort. We appreciate in many ways the
17 importance of having energy and power to our customers, and
18 this is not something we take lightly, but we believe has
19 to be in our toolkit in the event that the conditions
20 warrant it.

21 Then the last provision is really in the -- last
22 pillar is really the long-term focus, in terms of how we're
23 thinking about our infrastructure. It is adding to the
24 work that we've already been doing to strengthen our
25 conductors, but actually adding coated conductors that are

1 much more resilient to material falling into or blowing
2 into those lines, then, with the goal of preventing any
3 kind of a spark or an arc moving to non-wood poles as part
4 of that program.

5 Then the other is -- Brian touched on it, as did
6 Jana -- a real focus on community resilience zones. These
7 are really helping support communities when they're faced
8 with an event. They can go to a place that has power, is
9 able to provide those critical services, and designing that
10 into our infrastructure.

11 With that, I had a couple of other slides and
12 materials, but I'm going to -- just in the interests of
13 time, they're there available for reading, and we can cover
14 them if we need to. Thank you very much, and I'll turn it
15 over to Bill.

16 CHAIRMAN WEISENMILLER: Okay. Kevin, so one
17 question. So, again, having talked to Melissa Lavinson
18 about PG&E's efforts, your ex-VP, to --

19 MR. DASSO: I don't know Melissa very well.

20 CHAIRMAN WEISENMILLER: -- yes -- to basically
21 deal with some of the permitting or access issues on forest
22 lands, how is that going now, in general? Can you get in
23 to deal with these issues on a timely basis, either federal
24 or state lands, I should say?

25 MR. DASSO: Let me say -- I'll focus on federal

1 first, since that was the first part of your question. I'm
2 cautiously optimistic about that. The omnibus bill had
3 some provisions in it that encouraged federal land managers
4 to accept plans by utilities for vegetation management in
5 particular, and to act on those plans quickly, with a focus
6 on giving us access to do the type of work I'm talking
7 about as it relates to vegetation management. So I'm
8 optimistic there.

9 We are also engaged in a broader conversation
10 with the Department of Interior on all the agencies that
11 they are responsible for, and again speeding up the access
12 to particularly deal with the vegetation management issues
13 on federal lands.

14 The last thing I'll say is, as it relates to
15 state lands and private property owners, this is one of the
16 biggest challenges that we face, in terms of implementing
17 the kinds of programs that we believe will have a very big
18 impact on wildfire risk reduction. We need to obtain their
19 permission, do the types of work kind of above and beyond
20 the minimal compliance requirements, and it's an area, I
21 believe, that we need to deal with, as a state, more
22 holistically.

23 CHAIRMAN WEISENMILLER: Yes. I would suggest
24 talking to Terry O'Brien, who is now in the governor's
25 office, on these issues, and certainly has very deep skills

1 and experience on federal and state permitting.

2 MR. DASSO: We're leveraging that already as
3 well. Thank you very much.

4 CHAIRMAN WEISENMILLER: That's good.

5 MR. CHIU: Okay. Good afternoon. My name is
6 Bill Chiu, from Southern California Edison. I head up our
7 resiliency and public safety program management office, and
8 I wanted to echo what Kevin said about sort of the
9 heart-wrenching impact this wildfire has around all of our
10 community, and this is something that Edison takes very
11 seriously in addressing the public safety issues.

12 I think you will find that our three utilities
13 have very common, very similar approach, so I won't belabor
14 a lot of these details. Essentially, it's the same
15 concept, and we're working very closely to move forward in
16 addressing these risks.

17 One thing I do want to mention is sort of this
18 state of the new normal and the mind set change. This
19 slide has a lot of stats, and I think everybody is familiar
20 with that, but I think understanding that this new normal
21 requires a new mind set shift. What has worked for us in
22 the past is not sufficient for us going into the future.

23 So, you know, it would behoove us to think very
24 critically about, how does a wildfire actually start? How
25 does it actually propagate from the initial ignition source

1 to having an abundance of dry vegetation and dead, dying
2 diseased trees nearby, to having wind gusts at the wrong
3 place at the wrong time that help to develop these
4 wildfires, and you should realize that we need to think
5 about these very differently.

6 One of the things that I know Brian and Kevin's
7 company will do the same thing as well is to really think
8 about, what can we do to harden our systems? So maybe I'll
9 just touch on that a bit. I think, for the longest time,
10 the industry has been served very well. Our existing
11 construction practice and design practice has been there
12 for decades.

13 We have bare conductors out on our distribution
14 lines. We accept the fact that occasionally we're going to
15 have tree branches and metallic balloons and stuff that
16 come into contact with our lines, and we have high-speed
17 relays that will detect these and isolate these quickly,
18 but, in the process, it generates some potential arcs and
19 sparks.

20 So one of the things we're doing is to really
21 think about, what can we do to eliminate that potential for
22 having these arcs and sparks? And one of the things that
23 Southern California Edison is aggressively looking forward
24 to is to deploying a new covered conductor technology.
25 This is really a change in the mind set. It requires some

1 investment to harden our grid, but I think it will help to
2 significantly reduce, if not eliminate, the source of arcs
3 and sparks that we have on our distribution lines.

4 Edison actually has been actively looking at
5 these areas and addressing the risk. We haven't talked
6 about blocking of the reclosers. We have that program in
7 place. In fact, going forward, we're implementing newer
8 technology to allow a relay to be able to be much more
9 sensitive and speed up the detection of these faults to
10 isolate these conditions. The whole idea here is trying to
11 reduce the energy that is being injected into these fault
12 locations, and by further reducing the type of potential
13 arcs and sparks that we have.

14 Vegetation management, we talked a lot about
15 that. Situational awareness is also one of the areas that
16 we're very actively working towards. In a short amount of
17 time, we have really bolstered these capabilities, very
18 much like San Diego, SDG&E, and what PG&E is doing as well.

19 So I know we're short on time, so I just want to
20 maybe quickly go through some of the key points around
21 public safety power shutoff, because I think we were asked
22 to talk about that a bit.

23 I think there may be some sort of a confusion
24 around, you know, how does a utility decide when to shut
25 off the power? The reality is, there's not one single sort

1 of reference point, a particular wind speed, for example,
2 that sets the criteria for us to be able to deenergize the
3 circuit. There's lots of very detailed and robust
4 consideration that goes in behind the scene. So maybe I'll
5 just talk through a little bit about that.

6 You know, we want to understand the weather
7 conditions. Are there red flag warnings or fire weather
8 zones within the impacted circuits that we have? We want
9 to have an assessment for our internal meteorologist on the
10 conditions, including wind speed, having troops on the
11 ground to actually see what's going on, having real-time
12 situational awareness, reporting back from the field, input
13 from our own fire management folks, and specific concern
14 from the local and state fire authorities regarding the
15 potential consequences of wildfire in selected locations.

16 Are there alternate ways to route power to the
17 affected areas? Having awareness about, are there any sort
18 of ongoing mandatory evacuation that's going on that could
19 be potentially be impacted if we deenergize portions of the
20 circuits, and then what are the other operational
21 considerations to minimize potential wildfire ignitions,
22 including blocking a recloser and in identified circuits?

23 Ongoing activity throughout the areas, progress
24 of customer notification. We do definitely want to give
25 customer advance notification, to the extent that we can,

1 so they can be better prepared to deal with the impact, and
2 ongoing notification and coordination with local
3 jurisdictions and local governments, so there is a very
4 good understanding of the potential impacts for the
5 community.

6 So the slide here has a lot of information about
7 how we're planning to -- sort of leading up to the decision
8 to exercise PSPS. In the interests of time, I'll leave
9 that, maybe, for further discussion.

10 CHAIRMAN WEISENMILLER: So one question, which I
11 think the answer might be that you'll file something later,
12 but, you know, last fall, Pedro (phonetic) was really
13 focused on the insurance issues, you know, basically, how
14 to get reasonably cost insurance for the utilities, and,
15 obviously, (indiscernible) following that, whatever, 200,
16 250,000,000 to get 350 of insurance. So what is -- you
17 know, again, it may be just a subsequent filing, but what
18 is the insurance situation now, progress or not, for the
19 utilities?

20 MR. CHIU: Yes. So this is definitely an area of
21 concern for us. There is some progress in this space, but
22 I think it's beyond just utility insurance. You know, we
23 talked a lot about vegetation management. The
24 indemnification or insurance of the contractor that does
25 the tree trimming is also a significant concern for us as

1 well, because then they recognize the risk that they're
2 being exposed to, to doing work in this high-fire area. So
3 I don't have the specific details, but I'm sure we could
4 provide those information for the commission as well.

5 CHAIRMAN WEISENMILLER: Yes. No, that would be
6 fine, and certainly, also, the sort of vegetation
7 management part is interesting. You know, we had a study
8 done on homeowners, but, obviously, that's only a small
9 piece of the puzzle, and, you know, I've had talks before
10 with folks on the utility part, not the vegetation
11 management part. So more information from the three of you
12 would help. Thanks.

13 COMMISSIONER MCALLISTER: So I want to ask about
14 the customer outreach, you know, giving them the heads up,
15 and I know that's an exact science (sic), but how special
16 do you treat -- how specially, I guess, do you treat
17 customers with special needs, like, you know, on oxygen,
18 medical devices, things like that? And, you know,
19 obviously, a shutoff can be critical for them, so I guess
20 I'm wondering how you handle those issues, and how much
21 information you actually have about those customers.

22 MR. DASSO: So I'll start. Brian alluded to it a
23 little bit in his conversation, and this is an area, again,
24 we've all been working together closely on, to really
25 figure out what are those best practices, but first things

1 start with a real strong outreach to customers in every way
2 that we can, to make sure that we have accurate information
3 about their status and how to contact them, and in a world
4 with, you know, people not having landlines, it's critical
5 that we have a way of connecting with this, and we know
6 this is not unique to the utilities. First responders have
7 the same challenges in terms of reaching out.

8 So, generally, the first part of the campaign is
9 reaching out to customers to say, "You may be in this area
10 that could be affected. Please help us contact you. What
11 is a way that we can contact you? What's the way that you
12 prefer to be contacted?" and so on. That's kind of the
13 general population.

14 With respect to medical baseline customers in
15 particular, again, we're reaching out to the customers who
16 are already registered that way, as well as affinity groups
17 and other community groups that may have access to those
18 customers that perhaps haven't registered in that capacity,
19 again to try to make that awareness, really try to make
20 them aware of the options available to them.

21 In terms of communication, medical baseline
22 customers get special treatment. So it is our expectation
23 that we will make positive contact with every one of those
24 customers, again, unless there's just no possible way to do
25 that, but we're starting in advance to make positive

1 contact somehow with medical baseline customers, to let
2 them know that this could happen, and to begin to make
3 those preparations for that type of event, so whether it's
4 a phone call, some other kind of contact, and potentially,
5 you know, sending people out to knock on the door is part
6 of our (indiscernible).

7 CHAIRMAN WEISENMILLER: Are you coordinating with
8 the locals, in case you have a combination of either a
9 power shutoff or evacuation of those special needs?

10 MR. DASSO: I would say those conversations are
11 starting and evolving, is probably the best way to describe
12 it, at least certainly in our service territory, and,
13 again, until it becomes a reality, it's very abstract, and
14 so we're really trying to help work on that, and taking
15 evac and incorporating it.

16 MR. D'AGOSTINO: And I think the only additional
17 thought is, I think of a lot of the relationships with the
18 fire agencies and the Red Cross that gets developed,
19 because, when you get to the evacuation standpoint, really,
20 it transitions to their operation, in a sense. So we
21 become now, "How can we support them executing their
22 mission?" as opposed to before the evacuation, where, with
23 the power safety shutoff, it becomes more what we are
24 trying to mitigate the risk. But they really take over at
25 that point.

1 MR. CHIU: I would just add to what Kevin and
2 Brian mentioned, that, in our world, we call those the
3 "critical care customers," that have special medical needs,
4 and we take extra precautions to notify those customers.
5 We do everything we can to make sure that they get the
6 notification, and I think one of the things that we are
7 actively working on is to make sure that we have the most
8 current contact information from those customers, and
9 that's a critical piece of the overall link.

10 MR. HERRIOTT: Okay. Good afternoon, everyone.
11 My name is Bill Herriott. I am the Assistant Director of
12 the Power Transmission Distribution for Los Angeles
13 Department of Water and Power. We're a small municipality
14 in Southern California. It's a joke. We're actually the
15 largest municipality in the United States, and probably one
16 of the largest in the world, and, you know, we've been in
17 existence since, you know, 1893. So we've been around a
18 while.

19 This first slide here, unfortunately, this slide
20 is only about a year old, so it doesn't really reveal our
21 true skyline, which has grown quite a bit in the past 12
22 months, but, to start off, I just want to state that, in
23 November 2007, our Board of Water and Power Commissioners
24 petitioned Los Angeles Department of Water and Power to
25 look into increasing our construction standards in fire

1 hazard areas. So this was quite a while ago.

2 In February of 2008, LADWP implemented a wildfire
3 prevention plan that, to this date, meets or exceeds
4 regulatory requirements. LADWP's wildfire prevention plan
5 effectively, we believe, reduced our risk to causing fires
6 within our metropolitan area.

7 We continue to review this prevention, all of our
8 prevention measures, to ensure that we're in line with our
9 reliability standards and any regulatory requirements, and
10 as new technologies become available, Water and Power
11 purchases those advance materials, and we place them into
12 the field and do a test trial to see how they work with our
13 system, and how we can implement them, you know, globally
14 throughout our system.

15 Okay. This next slide here, okay, this is an
16 illustration of Los Angeles Department of Water and Power's
17 high wind and fire area zones. There's two maps that
18 you'll see up here on the slide. The map to the left is
19 the metropolitan area of Los Angeles.

20 As you can see, we don't have a great amount of
21 fire risk around us, because we are, you know, a densely
22 populated community of just 4,000,000 people, but one of
23 the things that we do have is, if you look at this map, it
24 also incorporates the L.A. city fire brush clearance zone,
25 which is right in the center of that map.

1 That orange area right in the center is through
2 the Santa Monica Mountain Range, along Mulholland Highway,
3 divides the San Fernando Valley from metropolitan Los
4 Angeles. So it's not part of the CAL FIRE map, but it is
5 part of the L.A. city mapping for a high-brush area.

6 So, in this area that's up here, you know, we
7 keep in mind that we have over -- we have 22 receiving
8 stations within that small blueprint, and those receiving
9 stations are taking 138,000-volt, 230,000-volt,
10 500,000-volt high-voltage transmission voltages into the
11 city, and transforming them into 34,500-volt
12 subtransmission voltages, which radially spreads out
13 throughout the city to over 130 distribution stations, and
14 those distribution stations then take that 34,500-volt
15 subtransmission voltage, and it drops it down to our
16 4,800-volt distribution voltage that pretty much serves the
17 majority of our citizens.

18 So, I mean, as you can see, this area is quite
19 densely populated, and the majority of our service
20 territory is metropolitan. The map to the right
21 illustrates Water and Power's facilities and service
22 territory that runs up through the high desert area, the
23 Owens Valley, and that extends all the way up to Long
24 Valley, right at the base of the Sierras.

25 You know, one of the things that we benefit from

1 at Water and Power, being a municipality and being within
2 the metropolitan area, our Los Angeles Fire Department is a
3 class one fire agency, and the response time they have to
4 any of our facilities or any of the communities is within
5 five to seven minutes, to respond to any type of fires in
6 the area.

7 In fact, just recently, LAFD had to respond to
8 two brush fires in our city. One was the La Tuna Canyon
9 fire last year, and the second was the Skirball fire, that
10 subsequently started during the middle of the Craigg fire
11 that was going on. Because they were in the city, and they
12 stayed within the city, L.A. City Fire Department kept
13 instant command of those fires, and did an exceptional job
14 suppressing the fires, and preventing heavy structure loss.

15 Now, back in 2008, when we came up with our new
16 construction standards, one of the things we looked at is
17 our overhead conductor sizing. So we increased our
18 overhead conductor sizes in not just high-wind areas, but
19 near any tier two or tier three fire zones, and in heavy
20 brush zones, to one/ought copper, minimum, in the coastal
21 areas, and then a three/ought aluminum-constructed
22 steel-reinforced wire in the outer areas that are away from
23 the beach and aren't susceptible to the degradation of the
24 salt water.

25 Now, along those, with minimum standards, we

1 increased our conductor spacing. A GO 95 minimum spacing
2 is 11.5 inches. Our minimum spacing in these zones is 39
3 inches, as you can see from the slide. That 39-inch
4 spacing helps us prevent wires from getting together in
5 severe high-wind storms, which could create an arc flash.

6 We have replaced service voltage conductors, so
7 that is the secondary volt conductors that serve, you know,
8 homes, commercial businesses, so on. We replaced those
9 conductors that were normally bare, or old triple-break
10 wire that they called (sic) back in the '40s and '50s, with
11 a suitably protected multiplex wire.

12 One of the other things that we've done is -- the
13 wind-loading requirement for the state is 56.6 miles per
14 hour in the wind zones. We've put a minimum load
15 calculation, on load calculations for all of our
16 distribution power poles, to 80 miles per hour in all wind,
17 brush, and high-fire tier areas, and that is our standard
18 since 2008.

19 Vegetation management. We maintain a database, a
20 tree database, of over 400,000 trees, from the Owens Valley
21 all the way down to the Wilmington District at L.A. Harbor.
22 It's over 350 miles of a tree database that we maintain.
23 It is a 12-month pruning cycle, and we employ contract
24 workers as well as Water and Power workers to provide tree
25 or vegetation clearance. We also assist other city

1 agencies and departments. We respond to external agencies,
2 at customer request, on our vegetation management.

3 One of the things that has been critical for us
4 in vegetation management recently, even though we always
5 exceed the minimum requirements -- we trim to the maximum
6 homeowners will allow us to -- one of the things that we've
7 been a victim of quite recently is of the fact that was
8 brought up earlier, I think, by the CPUC enforcement,
9 agency, is that, you know, we have trees that look
10 perfectly healthy, and they're 80 feet away from our pole
11 lines. It's a 100-foot pine tree, and it topples over and
12 destroys our conductors, brings everything down.

13 It's quite a serious thing. It's a phenomenon
14 that's really been taking effect, I believe, talking to our
15 arborist, basically due to the fact that we've gone so many
16 years with droughts, and then, in 2016, we had quite an
17 abundant rain and snow year. We had one of the largest
18 snow packs in the Sierra Nevada in many years.

19 That rush of moisture that came into Southern
20 California, into a lot of counties and communities there,
21 created a lot of quick crown growth in the trees, yet the
22 root systems were so impacted by many years of droughts
23 that the root system could not sustain the weight of those
24 crowns. So we still are suffering for those today, and
25 something that was brought up earlier is the ability to

1 work with customers and agencies to either trim or remove
2 those trees for protection of, you know, public safety.

3 Okay. Future resilience planning. I've been
4 recently -- one of my tasks I've been given is the Chief
5 Resilient Officer for the power systems for Water and
6 Power. I just returned from Washington, D.C., last week,
7 from my first meeting back there on this, but, you know,
8 we're quite a bit behind the IOUs, you know, unfortunately.
9 You know, sometimes that's good, sometimes that's bad.
10 It's good in the fact that a lot of them are probably going
11 into their second or third generation of meters, AMI
12 meters, and we haven't even installed them yet. So we
13 said, "Well, we have the money right there," but we are
14 working towards a smart grid technology, distribution
15 automation, advanced metering infrastructure, distributive
16 energy resources, and, you know, continuing in advanced
17 materials and products as they become available.

18 I think, basically, what California is facing
19 right now is really going to, you know, steer manufacturers
20 into creating the types of materials that are going to be
21 required for us to build in future energy-resilient
22 systems, and that's really the invention of technology, is
23 the necessity. So we have worked closely with different
24 manufacturers of overhead and underground types of
25 materials and specification standards, and they've worked

1 quite well with us. We continue to work with them, and,
2 hopefully, in the future, we can help build a more
3 resilient power system with climate change.

4 I just want to mention, it's my first time
5 meeting Kevin, Bill, and Brian, so I look forward to
6 working with them in the future, but, you know, the power
7 companies, whether they're publicly owned utilities or if
8 they're investor-owned utilities, we do get together
9 frequently throughout the year, and we share lessons
10 learned.

11 We share our successes and failures, and we
12 communicate what we see in the future for best practices,
13 and we do help each other quite a bit, and I'm not sure if
14 you guys are all aware of that, here in the commission, but
15 it's something that we do and we're quite proud of, because
16 we are not in competition with each other when it comes to
17 public safety, when it comes to power reliability. We're
18 all in this together, and I look forward to working with
19 these gentlemen right here in the future.

20 CHAIRMAN WEISENMILLER: No, that's good. I think
21 certainly all of us are getting questions from legislators
22 just on, you know, "Are the POUs" -- or from the PUC --
23 "Are the POUs learning lessons learned that the IOUs are
24 now struggling in?" Certainly they all pretty clearly had
25 communicated, and had a, you know, common approach on

1 stuff, a lot of it driven, I have to say, by the PUC's
2 questions, but, you know, certainly trying to make sure
3 that indeed you and the other POUs connected into that.

4 You know, I helped Harry Call (phonetic) at one-
5 point back in the '80s on a strategic planning exercise for
6 your company, and at least at that point, it was explained
7 to me the theory was to see what Edison did, and what
8 worked and what didn't work, and then take the pieces that
9 worked and, you know, then implement. So, certainly, at
10 this point, with the fire stuff, we have to move pretty
11 quickly. So that's important.

12 I think the other PUC question was trying to get
13 a sense of -- you know, we do research. I mean, this is
14 actually bringing in the science to try to connect them to
15 the PUC's activities, but, you know, how much research are
16 the POUs doing on these issues? You've got a list of the
17 right topics here, but we're trying to see, you know,
18 again, how to enhance the communication back and forth on
19 these topics, but to try to make sure that everyone is
20 picking up their fair share of the load.

21 MR. HERRIOTT: Well, I don't work in the group
22 that is involved with any research on that. We have a very
23 robust engineering department that's always looking at new
24 products and developments, and we do have a group that is
25 over environmental concerns, climate change, and that type

1 of stuff, that they're working into and looking through,
2 you know, what we're going to do in the future, and
3 communicating with both power and water. Because we're a
4 municipality, we're water and power. So, you know, water
5 reduction, you know, water conservation, power resilience
6 is something that we work with our groups on.

7 CHAIRMAN WEISENMILLER: Well, certainly we've
8 talked a lot about fires today, but the other issue of --
9 you know, there's a bunch of things that are changing with
10 climate, you know. One of those is heat storms, and you've
11 certainly had issues on that. How are you doing on trying
12 to address that part of resilience, or what happened, and,
13 you know, what are you doing going forward, so they can
14 maybe learn some lessons?

15 MR. HERRIOTT: Well, honestly, we really haven't
16 changed much going forward, because we are in the process
17 of a power system reliability program at LADWP, where we
18 are upgrading our facilities for resilience. Right? You
19 know, one of the things, because of the fast rapid growth
20 in Los Angeles, you know, there's quite a bit of load
21 that's being added to our circuits.

22 So we're working with our engineering group on
23 methods to help develop a more robust power system that can
24 withstand more of these heat events going forward, but one
25 of the basic things is, Water and Power, we do an

1 exceptional job of keeping the lights on while we're
2 replacing our infrastructure. We have quite a bit of
3 redundancies built into our electrical grid that allow us
4 to switch around certain circuits to deenergize them,
5 portions of those circuits, while never losing power to our
6 customers, and giving us the ability to replace those
7 overhead and underground infrastructures without customers
8 ever knowing about it.

9 There's quite a bit of difficulties we face. One
10 is, you know, we do have street restrictions, being in a
11 metropolitan area, because of traffic. We can't be on the
12 street before 9:00, and we have to be off by 3:30. So
13 between, you know, a lunch break and setup of delineation
14 cones and traffic, it really has a huge impact on our
15 ability to upgrade our infrastructure quickly.

16 You know, quite honestly, one of the things that
17 occurred during the most recent heat storm is due to the
18 fact that we had a reduction in some of our redundancies
19 out there, specifically to the south of Mulholland Drive,
20 on the coastal side of Los Angeles, you know, when we had
21 to switch around some of those circuits to replace
22 underground cables and infrastructure. When the heat came
23 on us, we had no ability to switch circuits back to normal
24 configuration, because the cables just weren't there,
25 right, because they were in the process of being replaced.

1 So that had a bit of an impact on Los Angeles a
2 few weeks back, and then the other thing that, you know, is
3 becoming the new norm, again, is the climate is really
4 unpredictable. You know, we are accustomed to triple-digit
5 temperatures in the summer in our San Fernando Valley
6 region, north of Mulholland Drive -- you know, it's kind of
7 a low desert region, when you consider it -- but not so
8 much along the coast, and in this last heat storm event,
9 there was triple-digit temperatures for a couple days on
10 the south side of Mulholland, going all the way down to the
11 ocean, where they had 110-, 112-degree temperature reads,
12 which is really unheard of.

13 So a lot of those communities, years ago, never
14 had air conditioning. Homes south of Mulholland, for many
15 years, had no air conditioning. Now most of those homes do
16 have air conditioning, but they still don't use it that
17 often. They don't need to. But that's something that
18 we're seeing that's becoming more prevalent, is the high
19 demand of, you know, air conditioning units within the
20 homes during these heat storms, and the ability to provide
21 the necessary power while upgrading our infrastructure.

22 COMMISSIONER HOCHSCHILD: I've got two quick
23 questions, really for any of you, but, obviously, utility
24 undergrounding is quite expensive, but forest fires are
25 also quite expensive. I'm just curious if this has changed

1 your thinking about undergrounding as a strategy for the
2 wires, and are you prioritizing areas of your transmission
3 and distribution that it would make sense to underground?

4 MR. HERRIOTT: Most of our transmission is
5 coming, you know, from out of the county and community. A
6 lot of it comes from, you know, Utah, Nevada, areas like
7 that. It will run through national forest land, Bureau of
8 Land Management areas, but it's basically desert areas. We
9 don't suffer the same critical needs that, you know, some
10 of the northern utilities have to go through, you know,
11 heavy, dense pine forests and things of that nature.

12 So we're fortunate there that we don't have that
13 risk, but, as far as within the city boundaries, you know,
14 on the outskirts, you know, again on that map, going back,
15 if you look, the areas on the outskirts, it's not very
16 densely populated. It's basically where the forest comes
17 down to the city, and we really don't have that much
18 infrastructure there, and it's serving, you know, just
19 small areas there.

20 The only area on that map that would be an area
21 that would have quite a bit of overhead infrastructure in a
22 brush area would be the center of the map, through the
23 Mulholland Highway there, along the Santa Monica mountain
24 range, but it's fairly densely populated with homes, and
25 it's very tight, windy, steep, narrow roads that, during

1 the red flag days, when we had red flag days, homeowners in
2 the area are not allowed to park on the street at all.
3 There's a city ordinance that, when there's red flag
4 warnings that go out, they just are not allowed to park in
5 front of their homes. All vehicles have to be in
6 driveways, garages, or somewhere else.

7 COMMISSIONER HOCHSCHILD: Okay.

8 MR. HERRIOTT: So to build infrastructure in
9 there would be quite daunting.

10 COMMISSIONER HOCHSCHILD: Okay. Then I was also
11 just curious, just for all of you, just in terms of fuel
12 load reduction, how much of your concern is just the
13 treetops, versus the understory. I live in the East Bay,
14 and, you know, one tactic that they're employing a lot now
15 in the East Bay is actually goats. They have these herds
16 of goats that they fence off, and they will eat everything,
17 and, you know, they're more effective than anything else.
18 I'm just curious if that's something that's useful or is a
19 main concern, the treetops hitting the wires.

20 MR. HERRIOTT: For us, it's mostly trees, you
21 know. I used to raise goats when I was a child, so you
22 don't want goats around anything. They will eat trees.

23 COMMISSIONER HOCHSCHILD: They will eat
24 powerlines. Yes.

25 MR. HERRIOTT: They actually prefer the bark on

1 the tree before they eat the grass and the brush below.
2 So, if you have any trees you want to save in your
3 property, you'd better fence them off, because they're
4 going to kill it. Once they chew around the cambium layer
5 of that bark, that tree is dead.

6 COMMISSIONER HOCHSCHILD: Is that a solution to
7 the eucalyptus trees in the East Bay?

8 MR. DASSO: Let me just add, though, in terms of
9 trees falling into powerlines, that's a challenging issue,
10 but we do believe, and part of the basis behind the program
11 that we're working with our customers to implement, is that
12 powerlines can be a good place for fire defense types of
13 practices, and we have found this to be an effective
14 practice in transmission rights-of-way, and we believe it's
15 a good way of implementing fuel reduction, as well as
16 reducing some of the impacts of --

17 COMMISSIONER HOCHSCHILD: So just make the
18 transmission corridor the firebreak, basically.

19 MR. DASSO: That's right. And we've done that for
20 many years, but now expanding that into distribution lines,
21 where appropriate. I think it aligns very much with what
22 the governor has talked about with respect to his executive
23 order on fuel reduction, and doing this in a collaborative
24 way, we believe, fits together well, and we're looking
25 forward to seeing how successfully we can do that, but it

1 all requires property owner's permission. We can't do it
2 without that.

3 MR. CHIU: If I can add to this a bit, in terms
4 of sort of the vegetation risk, we sort of bucket these in
5 three categories. We call these the "grow-ins," the
6 "fly-ins," and the "drop-ins." And so bottom line is, how
7 can we look to prevent these type of -- sort of the
8 consequences of having grow-ins and fly-ins and fall-ins?
9 One of those will touch a bit on the underground discussion
10 that you had earlier, is that we're not opposed to the idea
11 of undergrounding, but the reality is that the cost
12 benefit, or the benefit of the cost, is such a drastic sort
13 of disparity.

14 If you look at can you effectively mitigate the
15 risk that we talked about, we believe covered conductor is
16 a very effective means, essentially reaches the same level
17 as undergrounding, and if you look at the cost ratio, you
18 know, depending on the type of circuits, it could be five
19 times, seven times, or 10 times cost, in relative
20 comparison to the next most effective mitigation, and that
21 really becomes a pretty daunting math in terms of the rate
22 impact to our customers, and that's something we need to be
23 very thoughtful of.

24 MR. HERRIOTT: Yes. I'm going to put the cheap
25 plug in here on mylar balloons. We took a two-week period

1 in the month of July and looked at our outages, and 45
2 percent of all customer outages that our customers in Los
3 Angeles have reflected -- and I don't have the exact number
4 of how many customers were affected, whether it was 30, 40,
5 50, or 100,000, but, in that two-week period, 45 percent of
6 them were caused by mylar balloons, and mylar balloons are
7 really something that everyone should be concerned about,
8 because that is something that the utilities have zero
9 control over.

10 We can do all the vegetation management, we can
11 do all the clearance, we can do as much as we want to our
12 infrastructure. We can put covered wire conductor up
13 there, but -- I don't know if anybody watches baseball in
14 this room, but I do. I'm a Dodger fan, and I was watching
15 the Dodger game, and in horror when the lights went out,
16 when they were playing the Milwaukee Brewers a few nights
17 ago, because I'm responsible for that.

18 COMMISSIONER HOCHSCHILD: You might want to turn
19 your TV off. I don't know.

20 MR. HERRIOTT: Yes. I wish I could have turned
21 my phone off. The lights went out for about a second and a
22 half. Basically, they lost power for a second and a half,
23 because they had an automated transfer switch in another
24 circuit. They have a preferred 35,000-volt circuit that
25 feeds and an emergency circuit.

1 So the switch, you know, it acted properly. It
2 switched to the second feed immediately. But it takes
3 about 20, 25 minutes for the stadium lights to come. They
4 have to reset them manually, and they have to come back up
5 to brilliance. So it was around 8:00 p.m. or so that it
6 happened, but, you know, we immediately, you know, sent
7 crews out to determine what the cause was.

8 Now, even if we had covered wire out there, those
9 mylar balloons came into an overhead switch, and when that
10 occurs, it doesn't matter if you have covered conductor out
11 there, because you don't have covered conductor on your
12 switches. They're open. There's no such animal or beast,
13 and I'm not even sure how they would develop one.

14 So that's something of great concern to us, and
15 where that switch was, was over two miles from Dodger
16 Stadium, and there's no telling whether somebody from the
17 apartment lofts had let balloons go, or whether they were
18 let go or released in Malibu or Santa Monica or Pacific
19 Palisades, and this just happened to be the location they
20 came down, because it's not just the balloons going up.
21 It's where they come down. So it's something that's --
22 regardless of what we do and what we plan, if we don't do
23 something more, it's seriously out of our control.

24 COMMISSIONER MCALLISTER: Can I ask about poles,
25 and pole replacement? At least one of you mentioned that

1 as a strategy. I'm wondering sort of where that fits in
2 the priority list of hardening your system, and which poles
3 are the priority, and how you enter that -- how you plan
4 for that, you know. Yes. Just, what does your program
5 look like? Is it preventative or is it -- are you
6 replacing the poles when they need replacement anyway, or
7 how are you working that into your system?

8 MR. D'AGOSTINO: In San Diego, we're well into a
9 very extensive pole replacement project. The one for the
10 distribution system is called "FIRM." It's a fire risk
11 mitigation program, and it's right now lasting through
12 2030, where, at that point, all 84,000 poles that are in
13 our highest-risk fire areas are set to be transitioned over
14 to steel, and hardened, pruned (sic) for stronger winds for
15 things like that. So there is an extensive program in
16 place. There's also similar programs for our transmission
17 system.

18 MR. DASSO: We're all really in the same boat. I
19 mentioned the non-wood poles. That's part of our
20 resilience strategy, in the event that a fire occurs, as
21 well as strength and other resilience elements. It needs
22 to be part of the fix. Thanks.

23 MR. CHIU: Yes, very similarly for us. We look
24 at this from the resiliency angle, that if we have the
25 ability to deploy these fire-resistant poles, then the

1 system will be much more resilient in case of a fire does
2 happen.

3 I do want to comment on the covered conductor
4 piece, because I think you do have a really good point, but
5 it's really important that you study how the covered
6 conductor technology has developed and evolved over time.
7 The newer technology that we're looking at is not sort of
8 your grandfather's tree-wire covered conductor. This is a
9 very robust, three-layer design with a conductor shield,
10 insulation, and a very toughened outer jacket.

11 If you study some of the history of this, then
12 you realize that when you deploy this in the application of
13 the covered conductor, you also need to cover these areas
14 that was mentioned earlier, basically the pole heads, the
15 jumper leads, the splices. That will be part of the
16 program that we have. So we could essentially eliminate
17 these sources of potential metallic balloon flying into the
18 poles, what I call the "grow-in," "fly-ins," and
19 "drop-ins."

20 COMMISSIONER MCALLISTER: Yes. I'm going to ask
21 a related question to the sort of pole question. When you
22 go through that replacement -- and it would apply to
23 conductors, too, I guess -- are there any co-benefits? I'm
24 not sure, you know, you are the right group for this, but
25 are there co-benefits that you're able to realize when you

1 go through and, you know, anticipating all the distributed
2 energy technologies and kind of, you know, your loads
3 coming up for EVs, and all these other kinds of grid
4 reliability topics that we're talking about, not today, but
5 often, is, how integrated is the planning around that
6 distribution investment?

7 MR. CHIU: So maybe I'll just touch on that a
8 bit. Yes. We are actively looking at technologies where
9 we could deploy into the poles. They're looking at
10 embedding sensor into smart pole, if you will, that could
11 help us detect what's actually going on, on the circuits,
12 but that is a technology that's in development. We're
13 making good progress, and, hopefully, at some point in the
14 future, we could work with vendors to commercialize this
15 technology, and could deploy these at mass scale. So
16 that's something we definitely are looking at.

17 MR. DASSO: I would just say the types of things
18 that you're talking about are the types of things that, to
19 the extent that we have access to that or visibility into
20 that, we want to incorporate it. As we proposed -- and,
21 again, I think we're all similarly situated here -- it
22 really is a rebuild of the system in these areas, and so
23 you don't have to build it back the same way you built it
24 the first time.

25 So, if there's a better route, take a better

1 route. If you can dip a piece of it underground, you dip a
2 piece of it underground. If you can put a microgrid or
3 distributed resources up on the top of that mountaintop,
4 just to cover that repeater station, that might be a lot
5 better than building eight miles of overhead conductors.
6 So being smart about it, and integrating these new
7 approaches, is absolutely how we're all (indiscernible).

8 MR. D'AGOSTINO: I just want to share one
9 example. Part of the weather technology that was developed
10 for the situational awareness on fire identified an area
11 with winds over 100 miles an hour, and regularly over 80.
12 So, during some of the redesign, the transmission is being
13 rerouted around that area completely.

14 UNIDENTIFIED SPEAKER: Okay. Thanks.

15 CHAIRMAN WEISENMILLER: Go ahead.

16 MR. CROWLEY: So good afternoon. I'm Terry
17 Crowley with the City of Healdsburg, and City of Healdsburg
18 is a member of the Northern California Power Agency, and
19 I'm going to echo some of the things that have already been
20 said, but I also wanted to talk about more of a broader
21 perspective from the city's aspect.

22 I'm a utility director, but I also manage the
23 publicly owned utility's electric system, but also the
24 water and the wastewater systems as well, and so, when you
25 lose power for any type of sustained period of time, the

1 wastewater guys are scrambling. There's lift stations that
2 need to pump raw sewage out. If they don't have power,
3 that spills into the streets and creates environmental
4 hazards. So our guys, when they lose power, they're
5 running around town with a volt generator. So there's a
6 lot of different spinoff issues with these other related
7 infrastructures that need to be kind of considered and
8 planned for in relationship to wildfires.

9 Just to give a little bit of background into the
10 Northern California Power Agency, there's 16 members. Most
11 of them are publicly owned utilities in Northern
12 California. All of them, without exception, are affected
13 by wildfire, whether it's an immediate affect to the City
14 of Redding and City of Shasta Lake, or it's an indirect
15 effect to the City of Palo Alto with the loss of their
16 generation of the western area hydro plants that are up in
17 Shasta County. So everybody has a kind of perspective
18 there, and everybody has a clean desire to improve what
19 we've done and lookat things in a different way.

20 As far as Healdsburg, we have 60 miles of line in
21 four square miles, so pretty dense distribution system.
22 It's roughly 50/50 mix of underground and overhead.
23 Overhead lines run through high fire risk areas, and we're
24 surrounded by high fire risk areas. You know, we have
25 areas inside and outside. Our fire department is the

1 emergency response agency for those areas outside, so we
2 work with them closely in those risk assessments as well.

3 One of our big mitigation is not only for, you
4 know, wildfire, but for power and reliability, is to
5 annually go through and inspect for tree clearance and
6 maintain at least four feet of clearance. To get that four
7 feet, we require our trimmer to go to seven feet. So, at
8 any time, the minimum clearance that we're asking for our
9 lines is four feet. We've been doing that for several
10 years now, and we also ask for additional clearance
11 underneath the line, for sag, to accommodate for that.

12 As I mentioned, the city's fire department
13 provides the services inside and outside. We are able to,
14 as a city function and a group, work closely with the fire
15 department, which helps us kind of have those dialogues
16 about discussions of where their concerns are, and where we
17 could potentially mitigate some of those concerns or work
18 closely with them through these events.

19 Some of the more prevention efforts that we do
20 is, we do visual inspections each year. You could look at
21 the GO 95 standards and follow them to the letter, but we
22 look at those as a minimum standard, and so we look at
23 those as a minimum, and try and improve upon them, and
24 allow additional safety factors in there.

25 So, as an example, when we design our poles, we

1 add an additional 10 percent to the safety factors, and
2 maintain that, to provide a little bit more strength. One,
3 that's for reliability, but, two, if there was a wind
4 storm, being limited in resources, we don't have the staff
5 to go out there and replace five or 10 poles that fell
6 down.

7 Work to complete all maintenance items within 12
8 months, again, that's a reliability/customer service issue,
9 but, also, we're trying to manage our workload. We can't
10 afford to build up work over time.

11 Proactively rebuild and harden facilities, again,
12 customer service and reliability. So we look at our weak
13 conductors, small copper conductors, and we're looking at
14 replacing all those, and we're almost done with getting all
15 of the copper conductors out of our system, and again
16 looking at the poles, adding additional strength to the
17 pole, and not looking at the minimum strength requirements
18 for those.

19 As I mentioned with the fire department, we also
20 work closely with the police department, as the utility
21 director, I work closely with water and waste water. I
22 work with our public works transportation group on streets
23 because, if we lose power, we lose traffic signals, and
24 that's a huge challenge. People are so ingrained to having
25 the traffic signals tell them what to do that, if they're

1 absent, they just drive straight through those
2 intersections, and it becomes a big hazard.

3 Things that we're looking at in addition to what
4 we've already done is looking at increased inspections
5 during red flag warnings, being out there ahead of time,
6 just making sure that everything looks good, a best
7 practice that was shared to us from Riverside, looking at,
8 also, increasing the tripping times, or (indiscernible)
9 tripping times on our reclosers, not only just blocking
10 reclosers, but actually doing alternate settings that would
11 trip faster, so that the amount of energy that goes into
12 that fault is lessened for these elevated-risk days.

13 I also want to discuss the Northern California
14 Power Agency. They have hydro facilities, general
15 facilities, much like everybody, out in these rural areas
16 that are affected by wildfire, and so they also have this
17 need to assess their risks and mitigate those risks, and so
18 the NCPA aggressively manages their vegetation management
19 around their facilities. They work with CAL FIRE's
20 Conservation Camp Program to help do some of the clearing.
21 It's a great asset to NCPA. They also work with local
22 contractors.

23 NCPA is also working with lidar in ground-based
24 vegetation to identify clearance issues with transportation
25 lines that are leaving the hydro facilities. So they take

1 that lidar information and put it into a computerized
2 model, and they can also look at the snapshot of the lidar
3 at that point in time, but also look at what that wire has
4 sagged at under heavy loading, so that they maintain that
5 clearance requirement as well.

6 They also work in coordination with the forest
7 partners, U.S. Forest Service, State Parks, CAL FIRE as
8 well, to make sure that they can get to the trees that they
9 need to clear, even if they're outside the right-of-way,
10 trying to work with those. And that's just keeping it
11 brief.

12 CHAIRMAN WEISENMILLER: Again, I think the
13 question -- we want to encourage communication on best
14 practices among IOUs and POUs, and the obvious question
15 here is, to the extent that IOUs are thinking of going to
16 steel poles, then, you know, again, that may or may not
17 make sense for you, but you're in such a high fire risk
18 area, you know, you need to at least consider it.

19 MR. CROWLEY: So we've looked at steel poles.
20 We've looked at fiberglass poles as an option. There was a
21 time a few years ago that, actually, steel pole was just on
22 the basis it was more economical, when wood prices were so
23 high, but those are different things that we're looking at.

24 We're probably looking at more of the clearance
25 requirements, making sure there's space and keeping things

1 away from the wood poles, versus going to the steel poles.
2 I think steel poles are good for transmission corridors and
3 lines that are locked into a clear right-of-way. Where we
4 have poles along roadways that potentially could be
5 widened, the steel poles may not be the right choice for
6 us.

7 But certainly, looking at other utilities,
8 working with other utilities, other public owned utilities,
9 we take their best practices, spacing the wire further
10 apart, looking at red flag warning days differently,
11 looking at protection requirements, improving automation,
12 all those other best practices, we are certainly looking at
13 those and seeing what we can apply, what fits our specific
14 service territory.

15 CHAIRMAN WEISENMILLER: I think the other thing
16 is, you heard SDG&E, after the 2007 fire, really got very
17 serious. Obviously, after last year's fires, Edison and
18 PG&E got more serious. You know, we have just gone through
19 the Bureau fires, you know, the loss of the generation from
20 that, and some of the transmission, and some of your more
21 remote members seemed to be isolated for a while. I mean,
22 certainly, stuff I've seen generally indicates the
23 wastewater treatment plants really got hit hard.

24 I guess what I'm saying is I think NCPA is going
25 to have to do a pretty serious effort, anyone who's

1 thinking of preference power, to try to figure out how to
2 better position things. You know, I was just sort of
3 surprised that the bureau didn't have -- you know, they
4 seemed to be having to do the manual controls to get the
5 floodgates open, at the same time trying to evacuate the op
6 centers, and the communication problems there. It just
7 seems like that has to get better fast.

8 MR. CROWLEY: Yes. It's pretty impressive what
9 the bureau staff went through, through those several days,
10 with evacuating and trying to manage those damns, just the
11 flows, maintain flows, not necessarily worry about
12 generation. That's impressive. And for Healdsburg being,
13 you know, 14 miles north of Santa Rosa, our community is on
14 alert. Every time the wind blows, people are really,
15 really nervous about it.

16 CHAIRMAN WEISENMILLER: Right.

17 MR. CROWLEY: And so we have to do a lot of
18 community outreach, but we need to be, probably, as a small
19 POU, a truly small POU, every proactive, and almost, in my
20 opinion, a leader in demonstrating, "Hey. What can we do
21 as best practices in maintenance? What can we do to
22 demonstrate that we are at the leading edge of those?"

23 I'm not sure that a small PO such as Healdsburg,
24 or some of the other NCPA members, it's appropriate for us
25 to do research and development. I don't know that we could

1 really effectively develop those types of tools and study
2 those things to say, "Yes, this is a reasonable
3 technology," but I think certainly we want to look at
4 what's existing in place, and what's been proven to work.

5 CHAIRMAN WEISENMILLER: Yes, and, hopefully, NCPA
6 could become a channel into LADWP and SMUD, and certainly
7 the IOUs, on what's been the effective research.

8 MR. CROWLEY: Yes. NCPA and other industrial
9 groups, industry groups that -- you know, Northwest Public
10 Power Association, CMUA -- there's a Western Underground
11 Conference that also shares a lot of good information.
12 SCAPA (phonetic) has an engineering and operations group
13 that shares a lot of really good information. So, echoing
14 the same sentiment, we all work together on safety. We all
15 work together on reliability. We share our successes, as
16 well as our failures.

17 CHAIRMAN WEISENMILLER: Exactly. But, I mean,
18 certainly (indiscernible) op-ed this morning pointing out
19 that, you know, if there were a fire, and you were liable,
20 I mean, that goes directly to your city, not to your
21 shareholders, in terms of the costs for those damages.

22 MR. CROWLEY: Would go straight to the city, and
23 that's one of our big concerns, is how do we best serve our
24 customers and our community and mitigate those risks? It's
25 one tree into one line. It's not necessarily size that

1 matters.

2 CHAIRMAN WEISENMILLER: Yes. So the bottom line
3 is I think, you know, it's very challenging for everyone,
4 but it's going to be, very challenging, I think, for the
5 smaller utilities in the remote high fire hazard areas. We
6 have to figure out a way to -- maybe we have to figure out
7 a way to -- you know, figure out how to best mitigate it,
8 but it's not going to be easy.

9 MR. CROWLEY: Yes. It's not, but I'm saying it's
10 not easy, but there's a lot of due diligence in it.

11 CHAIRMAN WEISENMILLER: Yes.

12 MR. CROWLEY: You know, are you trimming your
13 trees? Are you proactively doing your inspections? Are
14 you engaged in GO 165, and really believing in those
15 inspection reports, and mitigating and fixing what you
16 find? I think the end result is, do your reliability
17 numbers show something that's better, something that's
18 improved to your customers? Do you have a lot of outages?
19 I think those are the measures that tend to show whether
20 you're effective in the preventative maintenance.

21 CHAIRMAN WEISENMILLER: Yes. I'd certainly
22 encourage folks to participate in some fashion in the PUC's
23 proceeding, at least monitor it enough to learn what
24 lessons are coming out of it.

25 MR. CROWLEY: It certainly is being monitored.

1 CHAIRMAN WEISENMILLER: Good.

2 MR. CROWLEY: I guarantee that.

3 CHAIRMAN WEISENMILLER: Good. Thank you.

4 MR. CHEN: Good afternoon, everyone. My name is
5 Vincent Chen. I'm here with Jupiter Intelligence. I want
6 to start with thank you for the commission to invite us
7 today especially to Pam.

8 Jupiter Intelligence, we're a climate modeling
9 company that provides data and data analytics for physical
10 climate risks associated with climate change, and we have a
11 specific focus on hazards, and just a quick background on
12 our work and the areas that we operate in.

13 We currently have products pertaining to flood
14 and extreme heat risks in geographies in the New York/New
15 Jersey area, in South Carolina, and Florida, and we are
16 just about to kick off our development process for a
17 wildfire platform focusing on California for fire risks,
18 and I'm happy to be here today. I'm excited to share the
19 framework that we're following, and certainly highlight the
20 potential role that a private entity could play in
21 addressing this very critical challenge.

22 Before I jump into further addressing fire risks,
23 there are a couple parallels that we can draw from
24 Jupiter's experience working in other areas and other types
25 of hazards, and, as many of many panelists and other

1 speakers alluded to today, the real challenge is to build
2 resiliency, and there are lessons that could be learned
3 from other areas.

4 Taking New York City after Sandy, for example,
5 the significant loss catalyzes a whole host of investment
6 and resolutions after those damages, including a
7 1,000,000,000 investment by Con Ed and other utilities to
8 harden their substations, for example, and also harden
9 parts of their T and D system, and for critical facilities,
10 such as hospitals, nursing homes, or other data centers,
11 possible options, and others certainly alluded to this
12 today, including, you know, more backup redundancy or more
13 flexible and robust fuel delivery arrangements, certainly
14 more coordinated dispatch and capacity building for
15 generators, and also, in the longer term, certainly,
16 microgrids that could serve as effective backup system.

17 Obviously, wildfires in California present a very
18 unique set of risks that are different from Florida risks,
19 for example, but I think some of the resiliency lessons
20 could be learned and are applicable across different
21 geographies and hazards.

22 Today I want to really focus on a key piece of
23 resiliency, which is on data and data analytics. This
24 where Jupiter's work comes in to be relevant. Jupiter's
25 role in this process is to provide scientifically accurate

1 and also statistically robust modeled forecasts,
2 probabilistic forecasts, that is, of the hazards, to
3 support both short-term decision making and longer-term
4 planning.

5 This diagram, then, is our way of thinking, where
6 we fit in into a larger ecosystem of really building
7 resiliency in our communities. As a data analytics
8 company, our role is to enable different partners, and
9 these include communities, utilities, public agencies, and
10 a whole host of other stakeholders, to better respond and
11 plan as we see increasing wildfire risks.

12 I'll walk you through this quickly. As a data
13 provider, we obviously work directly with asset owners and
14 operators, and in the case of wildfire, for example, these
15 would be agency that owns and manages public lands,
16 vulnerable communities that are wildland-urban interface,
17 utilities and other infrastructure operators, and also, in
18 certain cases, agriculture businesses, and certainly also
19 policy makers and regulators that have concerns in these
20 issues.

21 In addition to directly working with these asset
22 owners and operators, we also work with a whole host of
23 other partners across both public and private sectors. On
24 the longer-term time horizon, these could be engineering
25 partners, financial institutions, insurance, re-insurance

1 companies, and certain specialty insurance companies, for
2 example, parametric insurance companies that are interested
3 in using more advanced data to both address the risks, but
4 also help with some of the project financing for entities
5 that are looking ahead of time and implementing some of the
6 mitigation measures.

7 On the operations side, certainly, emergency
8 responders, and also certain fire protection services could
9 also benefit from more rigorous data analytics.

10 Moving on, I want to give a snapshot of the
11 framework that we're approaching, developing our fire
12 platform, and really our approach combines the latest
13 scientific modeling knowledge from the scientific
14 community, but it will also leverage the latest technology,
15 which is scale computing and machine learning, in the
16 process, and we approach both short-term and long-term
17 forecasting very differently, because the underlying
18 modeling efforts are quite different.

19 I'll start from going over some of the
20 characteristics of our short-term modeling efforts. First
21 of all, I want to speak to the benefits of having a cloud
22 native infrastructure, particularly to the use case of
23 wildfire risks. The data analytics are usually quite
24 intensive, and during an onset of an event less so, maybe,
25 during other times of the year.

1 So there's a quite drastic change of the
2 necessary computing power needed. This is what we call,
3 like, the "burst processing," because demands come quick
4 and fast at a certain time. So a cloud infrastructure, as
5 opposed to a traditional supercomputing infrastructure, is
6 more suited and also more economic, in this particular
7 case.

8 We're also leveraging -- one of the speakers
9 earlier today talked about downscaling of the next
10 generation of climate models. That's something that we'll
11 actively take advantage of, to really generate hyperlocal
12 numerical weather predictions, and these models are able to
13 provide probabilistic forecasts at a high resolution for
14 temperature, humidity, wind, and precipitation.

15 Obviously, these are only a subset of the factors
16 going into wildfire modeling, but certainly more precision
17 would allow better decision making, and one of the speakers
18 earlier today alluded to providing data that is at a level
19 that would empower circuit-level decision making. So this
20 is certainly something, as we further downscale the climate
21 models, we would be able to reach that level of precision.

22 Of course, beyond the weather factors, there's
23 work needed to be done in the vegetation model, both in
24 terms of fuel and also growth. So we are actively working
25 on integrating public domain field surveys, but also

1 leveraging some of the new technologies based on commercial
2 satellite and remote sensing technologies to incorporate
3 those into our fire modeling process.

4 On the long-term planning side, the focus is a
5 little bit different, and I want to talk about the first
6 two factors, both commercial satellites and also machine
7 learning together. So, obviously, commercial satellites
8 provide a new set of data, with optical and radar-based
9 observations, but, also, with those increased amount of
10 data, we are able to leverage machine learning and AI
11 technologies to better correlate what shows up in those
12 imageries, and what it is in relation to the fuel that is
13 available, actually, on the ground, and also downscale
14 meteorological conditions.

15 So, although, you know, the physical intricacies
16 of how these factors are connected are complex, but,
17 through training runs, there could be empirical connections
18 being made there, and that's something that we're actively
19 leveraging.

20 In the longer term, also, we're taking into
21 consideration the non-stationary climate, which, taking
22 into consideration to the different climate change
23 scenarios and emissions scenarios, we're obviously seeing
24 different patterns of heat and precipitation patterns
25 across the geography, so actively modeling those in as

1 well, in order to assess the full picture of the fire risk
2 in the future.

3 I think the last piece of the puzzle really is a
4 further integration of other system models beyond the
5 physical climate models, the fuel status, and this extends
6 into hydrology models, or even terrestrial ecosystem models
7 that would really help us understand how vegetation growth
8 changes as we see the climate shift in the long term.

9 So this what we have for today. I'm happy to
10 answer any questions.

11 CHAIRMAN WEISENMILLER: That's good. I'm just
12 going to start with two observations. One is, this past
13 spring, I spoke at McKenzie (phonetic) Annual
14 Sustainability Event in Shanghai, and one of your
15 colleagues was there, actually, the day before I arrived,
16 and spoke.

17 Anyway, we just connected, and so I thought that
18 was a good opportunity to bring Jupiter into this forum. I
19 appreciate, you know, how far you could go in the
20 conversation, but, again, I think the McKenzie message
21 seemed to be "These guys are state of the art in these
22 issues."

23 The other observation was, in terms of Fourth
24 Climate Assessment, as we look at the climate impacts,
25 we've talked today a lot about fire. Obviously, that's not

1 the only area we see major impacts coming, you know, for
2 example, sea level rise. So that fits very closely to some
3 of your modeling on that side.

4 We also see a lot more volatility in climate in
5 terms of temperatures, you know, these bursts of 111 at
6 UCLA, much more common going forward, also, for the West, a
7 lot of very long-term droughts, you know, going forward,
8 and basically snowpack, a lot of melting of snowpack
9 between now and 2050, 2100. I was going see if Guido knows
10 anyone here to flag what I've missed, but those are least
11 some of the key things that we're seeing coming out of the
12 changes.

13 So, bottom line, a lot of focus on fire, but
14 really that's just a start, you know, and that's certainly
15 something which we're seeing very clearly now, but basic
16 word of warning is that there's a lot of other impacts, and
17 I'm sure folks afterwards may want to follow up with you in
18 conversation.

19 MR. CHEN: If I might add, I think a lot -- from
20 our experience developing our platforms for other kind of
21 hazards, including flood and extreme heat, one of the most
22 effective ways is to find partners that are, you know,
23 actively working on issues in the industry, so just to put
24 a plug really quickly, kind of, for Jupiter. We are
25 looking for partners to codevelop our fire process, and

1 will be very welcome to any kind of discussions.

2 COMMISSIONER MCALLISTER: I did have a question
3 or two, I guess. So I'm very excited, you know, about
4 this, you know, heavy data analytical approach that we're
5 doing, actually, increasingly, that kind of work, probably
6 not to the granularity in sort of real time that you're
7 working on, but it occurs to me that some of this could be
8 linked to some of the policy work that's being done, you
9 know, maybe not, you know, beyond emergency preparedness,
10 certainly looking at energy consumption trends, and, as you
11 do, modeling.

12 It could inform our forecasting. It could
13 inform, you know, our disaggregation of some of that work
14 to get to the really local level. So I guess, you know,
15 I'm sort of thinking longer term (indiscernible) about
16 possibilities. I think there's a lot of substance there.

17 Are any of the utilities that spoke utilizing
18 this or some other resources, or planning to?

19 MR. D'AGOSTINO: From the standpoint of SDG&E,
20 yes. We own and operate four supercomputers, and a weather
21 network of 170 stations to train them, a lot of
22 partnerships with UCLA. So it's something we're extensive
23 in, and another example where we've been working with the
24 other utilities.

25 MR. DASSO: Data analytics is the future, and

1 it's absolutely something that's critical to us. We've got
2 a team that's called our "digital catalyst group." We've
3 been doing a lot of mobility work, but moving into
4 analytics and trying to cap into these types of models, and
5 I'll be exchanging contact information with Michael here at
6 the end. I'd love to talk a little bit more. We're open
7 to anything that folks with that perspective can offer to
8 this problem.

9 MR. CHIU: I would just echo the same thing.
10 We're actually very actively looking at building our
11 analytical capabilities so that we can ingest a variety of
12 data sources to perform these analyses, and it definitely
13 will help us to be better at understanding weather
14 patterns, predicting what's going to happen. This is
15 definitely one of the key pillars of our strategy going
16 forward.

17 COMMISSIONER MCALLISTER: I want to also just
18 plug -- maybe you do this, for example, down in San Diego.
19 You could coordinate with SANDAG on the transportation
20 side. You know, they have a lot of resources to -- you
21 know, they're the MPO, and they're the regional
22 transportation organization.

23 So, you know, across the state, you have
24 different versions of that, and it seems like these kind
25 of -- again, it's sort of leveraging analytics that's

1 happening in one sphere to help another sphere, and I
2 think, again, optimizing investments and all that kind of
3 stuff, while you're at it in a given area, you know, SANDAG
4 might be able to program some similar, complementary
5 upgrades at the same time.

6 You know, obviously, there's a lot of bureaucracy
7 involved in interactions with other governmental entities,
8 but we're talking about a really generational shift here,
9 and I just think it really warrants a lot of long-term
10 thinking that is up to that task. And so, you know, those
11 relationships might be important.

12 CHAIRMAN WEISENMILLER: So I thank everyone for
13 their participation today.

14 Heather, in terms of when comments are due --

15 MS. RAITT: August 16th.

16 CHAIRMAN WEISENMILLER: Okay. And so we're now
17 going to go to the public comment part, and I've got -- so
18 public comment from anyone in the room. I have one blue
19 card from So Cal Gas. Please come on up. Identify
20 yourself for the court reporter.

21 MS. MORENO: Can you hear me?

22 CHAIRMAN WEISENMILLER: Yes.

23 MS. MORENO: (Indiscernible.) Thank you.

24 (Indiscernible.) So Cal Gas is here to let you know that
25 So Cal Gas is committed to maintaining diverse and balanced

1 forms of energy that can help communities be more resilient
2 in the face of climate change.

3 We recently hired an external consultant to
4 conduct case studies highlighting the resilience of the
5 natural gas sector following four natural disasters that
6 took place in 2017. They include the October wildfires in
7 Northern California, the December wildfires and subsequent
8 mudslides in Southern California, as well as Hurricane
9 Harvey in Texas and Hurricane Irma in Florida.

10 The case study summaries of damages and
11 destructions experienced, resilience successes, and lessons
12 learned about opportunities to increase resilience across
13 the energy sector.

14 Key lessons learned are clear. First, natural
15 gas is a resilient energy resource that provides heat and
16 hot water for homes when the electric grid is down.
17 Second, natural gas provides backup generation for
18 hospitals and relief centers through the use of fuel cells
19 or combined heat and power systems.

20 Lastly, transit buses, garbage trucks, and other
21 vehicles that serve our critical infrastructure needs, that
22 run on CNG or LNG, keep cities running during emergency
23 response situations. (Indiscernible) concerned with
24 over-reliance on a single energy source. I can't stress
25 enough that resiliency means not putting all of your eggs

1 in one basket. We need diverse and balanced forms of
2 energy.

3 During the Thomas fire, the city of Ventura lost
4 electricity due to wildfires. Because the power was down,
5 emergency responders could not operate electric
6 water-pumping stations, and fire hydrants did not have
7 water for firefighters to (indiscernible) that were burning
8 down homes. Functional backup generators were not
9 available, and the city of Ventura is now looking at
10 natural gas-powered water pumps to ensure greater
11 resilience during wildfires and other natural disasters.

12 In light of this, it is critical for cities,
13 counties, and states to understand that a diverse energy
14 delivery system contributes to greater reliability,
15 community resiliency, and, first and foremost, helps ensure
16 public safety.

17 So Cal Gas is dedicated to improving the quality
18 of life in the communities we serve. In fact, we are
19 working closely with local governments to assist them in
20 their efforts to plan for climate adaptation and hazard
21 mitigation. We just launched our new climate adaptation
22 and resiliency planning grid program, which will award
23 \$100,000 to local governments to help them plan and prepare
24 for climate change impacts through the general plan
25 process, as required by Senate Bill 379.

1 With that said, we appreciate the research that
2 CEC and CPUC is doing around climate change adaptation and
3 resiliency, and we hope that both agencies recognize that
4 the natural gas grid should not be overlooked when
5 addressing climate change mitigation and adaptation
6 strategies. The natural gas grid is a valuable asset that
7 provides reliable, affordable energy, and is less
8 vulnerable to service disruptions caused from wildfires and
9 other natural disasters.

10 We'll be providing additional comments that will
11 elaborate on how natural gas and renewable natural gas can
12 help improve resiliency in communities vulnerable to
13 climate-related natural disasters, and plan to share the
14 case cite, as I referenced earlier, as soon as I have them
15 finalized. Thank you for your time.

16 CHAIRMAN WEISENMILLER: Thank you. I certainly
17 encourage you to file the studies in the docket for this,
18 along with what you're doing generally on adaptation.

19 MS. MORENO: Will do.

20 CHAIRMAN WEISENMILLER: Is there any other public
21 comments from anyone in the room or on the phone? Okay.

22 I was going to again remind our utility
23 colleagues that in October we're going to be doing these 13
24 local events on sort of adaptation and resilience issues
25 coming out of the Fourth Assessment. It's a good

1 opportunity to partner with your sustainability groups or
2 your, you know, adaptation folks, as we try to connect with
3 local governments in those discrete areas, or 10 local, one
4 tribe, environmental justice.

5 So we'll be reaching out to a number of
6 stakeholders, and certainly, to the extent you can help us
7 with that connection into the communities, that will be
8 great. Certainly, you know, if you contact Pam -- raise
9 your hand -- she can connect you with Susan and the other
10 folks who are organizing this, and their agencies, so we
11 can all move forward on basically dealing with the
12 challenges that we have -- you know, we have had real
13 challenges.

14 I mean, one thing I thought I saw in the Fourth
15 Assessment is, to some extent, what's happening on the
16 ground is happening faster than the science would expect.
17 So, you know, we have a real crisis, and the governor would
18 tend to say that two existential challenges are climate
19 change and nuclear proliferation.

20 Of course, I don't have to worry about the
21 nuclear proliferation issue, but certainly the climate
22 change is one that I think we all need to rise to the
23 occasion, particularly in the adaptation side. So thanks
24 for your participation today.

25 Andrew?

1 COMMISSIONER MCALLISTER: Yes. What I was able
2 to see -- I was in and out a little bit, obviously, but
3 really quality panels, and looking forward to everybody's
4 comments. There isn't really an issue about time, and I
5 really can't put it better than the Chair did.

6 Unfortunately, I would say, you know, California
7 is even more in a leadership position, just sort of because
8 everybody else -- or others have stepped back. So we're
9 kind of left further in front than maybe would have
10 otherwise been, but we owe it to ourselves here in
11 California to deal with the issue. So you're all helping
12 us do that, and it's really a team effort. So I'm really
13 happy to be at this forum, and certainly it's not enough,
14 but it's a good step forward. Thanks.

15 CHAIRMAN WEISENMILLER: Okay. So we're
16 adjourned.

17 (The workshop was adjourned at 4:16 p.m.)

18
19
20
21
22
23
24
25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 6th day of September, 2018.



MARTHA L. NELSON, CERT**367

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.

September 6, 2018

MARTHA L. NELSON, CERT**367