

COMMITTEE WORKSHOP
BEFORE THE
CALIFORNIA ENERGY RESOURCES CONSERVATION
AND DEVELOPMENT COMMISSION

In the Matter of:

Summer 2008 Electricity Supply
and Demand Outlook

)
)
) Docket No.
) 08-SDO-1
)
)

CALIFORNIA ENERGY COMMISSION
HEARING ROOM A
1516 NINTH STREET
SACRAMENTO, CALIFORNIA

WEDNESDAY, JANUARY 16, 2008

1:00 P.M.

ORIGINAL

Reported by:
Ramona Cota
Contract No. 150-07-001

DOCKET 08-SDO-1	
DATE	JAN 16 2008
RECD.	FEB 05 2008

COMMISSIONERS PRESENT

Jeffrey D. Byron, Presiding Member

John Geesman, Associate Member

Jackalyne Pfannenstiel, Chairperson

STAFF and ADVISORS PRESENT

Laurie ten Hope, Advisor

Suzanne Korosec, Advisor

Denny Brown

Lynn Marshall

David Hungerford

Jim Woodward

Steve Fosnaugh

ALSO PRESENT

Robin Smutny-Jones
California Independent System Operator

Manuel Alvarez
David Reed
Southern California Edison Company

Gary Lawson
Sacramento Municipal Utility District

Osman Sezgen
William Tom
Curtis A. Hatton
Pacific Gas and Electric Company

Tim Vonder (via teleconference)
Athena Vesa (via teleconference)
San Diego Gas and Electric Company

Robert E. Burt
Insulation Contractors Association

I N D E X

	Page
Proceedings	1
Opening Remarks	1
Presiding Member Byron	1
Introductions	1
Background, Topics, Purpose, Overview	3
Summer 2008 Electricity Supply and Demand Outlook	3
CEC Staff	3
Stakeholder Comments	16
California Independent System Operator	16
Peak Demand Overview	28
CEC Staff	28
Demand Response and Interruptible Load Programs	42
CEC Staff	42
Stakeholder Comments	50
Sacramento Municipal Utility District	50
Southern California Edison Company	55
Pacific Gas and Electric Company	69
California Independent System Operator	78
San Diego Gas and Electric Company	115
Dependable Hydro Capacity	86
CEC Staff	86
Stakeholder Comments	111
Pacific Gas and Electric Company	111

I N D E X

	Page
Public Comments	122
Closing Remarks	138
Presiding Member Byron	138
Adjournment	140
Certificate of Reporter	141

P R O C E E D I N G S

1:00 p.m.

PRESIDING MEMBER BYRON: Good afternoon.

Welcome to the Electricity Committee workshop on the summer 2008 supply and demand outlook.

I'm Jeff Byron, Presiding Member of the Electricity Committee. With me here at the dais is my Associate Member on that Committee, Commissioner Geesman. And joining us is the Chair of our Commission, Chairman Pfannenstiel. My Advisor, Laurie ten Hope, all the way to my right. And Commissioner Geesman's Advisor, Suzanne Korosec.

I don't know what else to say, Denny, except I think we'll turn it over to Mr. Brown and we'll proceed with our workshop. You know what, I do want to add one more thing.

This is a little bit earlier, I think, than in most years when we deal with the summer outlook. And I think it's fair to say it's in response to the Assembly Committee Utility and Commerce's interest in this subject a little earlier than normal, as well. We're trying to be responsive.

And I'd like to thank the staff very

1 much for being able to pull this workshop together
2 in very short order. And also for all those that
3 are here to participate. We really did try to be
4 responsive to our Legislature, and I thank you
5 very much for being here today.

6 Mr. Brown.

7 MR. BROWN: Thank you, Commissioner
8 Byron. Good afternoon, Commissioners, Advisors,
9 Staff and guests. I'm Denny Brown with the
10 electricity analysis office.

11 First I'd like to welcome everybody to
12 this afternoon's workshop. And I'd also like to
13 thank you for participating and to help us better
14 understand California's complex electricity
15 system.

16 Just a few housekeeping items before we
17 begin. For those that are not familiar with the
18 building the closest restrooms are right across
19 the hall. There's a snack bar on the second floor
20 under the white awning.

21 Lastly, in the event of an emergency and
22 the building is evacuated, please follow our
23 employees to the appropriate exits. We will
24 reconvene at Roosevelt Park located diagonally
25 across the street from this building. Please

1 proceed calmly and quickly, again following the
2 employees with whom you are meeting, to safely
3 exit the building. Thank you.

4 The topics for today's workshop will
5 include the summer 2008 supply and demand outlook.
6 We'll have an overview of our peak demand
7 forecast, a discussion of demand response and
8 interruptible load programs and how they're
9 utilized by the utilities. As well as the
10 potential impacts of dry hydro conditions -- or
11 various hydro conditions on capacity.

12 The purpose of today's workshop is to
13 get stakeholder comments prior to presenting
14 results to the Governor and Legislature; request
15 input on impact of dry hydro conditions on
16 capacity; and to hear comments on how demand
17 response and interruptible load programs are
18 utilized at the utility level.

19 We will start with the summer 2008
20 electricity supply and demand outlook. Just to
21 provide a quick overview, I'll discuss the changes
22 since the 2007 report that came out in June.
23 We'll discuss various planning reserve margins for
24 the four regions that we evaluate; provide a
25 cumulative probability distribution for our

1 probablistic assessment of the three regions that
2 we include in that. And then finish up with some
3 detailed assumption data, resource assumptions.

4 Since the 2007 outlook we really have
5 not had any major changes to the methodology. In
6 fact, very few changes to the methodology. The
7 majority of the work we've done for 2008 is to
8 update the values to reflect 2008 data, as well as
9 to relocate some generation and some assumptions.

10 We moved Calpine Sutter from the SMUD
11 control area to the California ISO control area as
12 we found that it does have a participating
13 agreement with the California ISO.

14 We've also reduced Western's Central
15 Valley Project imports by about 250 megawatts to
16 reflect their capacity that's used to meet their
17 internal load.

18 We do provide the outlook in both the
19 deterministic and probablistic format. The
20 deterministic format presenting the planning
21 reserve margins for the four regions, California
22 statewide, California ISO, north of Path 26, so
23 the portion of the California ISO in northern
24 California, as well as south of Path 26 for
25 southern California.

1 And we further do probablistic analysis
2 for the California ISO, NP-26 and SP-26. And we
3 don't do a probablistic assessment for the
4 statewide as it's made up of several control areas
5 and they do not operate as a single system.

6 Okay, this table provides the 2008
7 summer outlook, electricity supply and demand
8 outlook. They were broken into four columns
9 providing the NP-26, northern California ISO, SP-
10 26, southern California, the Cal-ISO as a whole,
11 and the statewide.

12 And just in general, all the regions
13 have improved slightly since 2007 with the
14 exception of northern California where we've seen
15 the planning reserve margin drop slightly.

16 Even with the drop in northern
17 California it does still exceed the 15 to 17
18 percent planning reserve margin required by
19 resource --

20 It's also important to note that we use
21 a 3000 megawatt assumption for path 26 to -- that
22 3000 megawatts of energy is traveling from
23 northern California to southern California. In
24 reality, that could be north to south, the flow
25 could be south to north, and I will explain this a

1 little bit -- I have a slide to explain this a
2 little bit further later on. But for these
3 planning reserve margins we do use 3000 megawatts
4 always flowing north to south.

5 As southern California resource margins
6 continue to improve, that is an assumption we'll
7 have to look at to balance that. In the operation
8 of the system the California ISO, on a real-time
9 basis, will move that energy to whichever region
10 needs it to best operate the entire system.

11 And then also at the bottom of this
12 chart the probability of involuntary firm load
13 curtailments is provided. This is the probability
14 of the state's emergency from the ISO. Again,
15 even though NP-26 has a lower planning reserve
16 margin than SP-26, it also has a lower probability
17 of a stage 3. And this is due to the -- southern
18 California has a -- the temperature has a greater
19 impact on load in southern California. So a high
20 temperature condition will result in a much
21 greater increase per megawatt hour.

22 And then there's also much larger
23 resource outage conditions that we can experience
24 in California. For example, the DC line could
25 drop, and that's the single largest contingency in

1 the State of California. So that has a much
2 greater impact on SP-26.

3 PRESIDING MEMBER BYRON: Mr. Brown, can
4 I -- I'm going to slow you down a little bit, ask
5 you if you'd go back to the previous slide. And
6 if I could, just ask a couple of questions.

7 First of all, maybe you said this and I
8 missed it, but why is Sutter now moved out of, I
9 believe it was SMUD's control area into the ISO
10 control area?

11 MR. BROWN: Okay, originally when SMUD
12 formed its own control area and Calpine Sutter
13 came online, they scheduled through SMUD control
14 area. I'm not exactly sure what the timeframe is
15 that they changed over to have a participating
16 agreement with the ISO, but they now schedule
17 through the ISO.

18 PRESIDING MEMBER BYRON: Okay.

19 MR. BROWN: So, if they would be in SMUD
20 -- if they were still in SMUD we would consider
21 that an import into the ISO. It would still be in
22 the California statewide total, but because
23 they're in -- California ISO is no longer an --
24 it's not an import, it's an existing generation
25 resource.

1 PRESIDING MEMBER BYRON: Okay. And in
2 this table, then, should it have shown up, or why
3 doesn't it show up in the NP-26 category? In
4 other words, I'm assuming it's a -- well, let me
5 put the question that way. Where is the Sutter
6 plant in this table?

7 MR. BROWN: It's now located in two
8 columns in this table, the NP-26, as well as the
9 California ISO. So it's moved into the existing
10 generation because it's not a new addition. It is
11 existing generation. So it was just an adjustment
12 made to the existing generation number since 2007
13 outlook.

14 PRESIDING MEMBER BYRON: Okay, and I was
15 thinking it might have shown up in the third line,
16 high probability CA additions. Okay.

17 And where do you get your net
18 interchange information for this table?

19 MR. BROWN: Must of the net interchange,
20 this is what we feel the physical capability of
21 the net interchange is does not have any
22 contractual obligation to it.

23 The only adjustment we look at is if we
24 really felt the northwest did not have enough
25 surplus capacity to fill the 6000 megawatts that

1 we assume from the northwest, or if the southwest
2 didn't have enough capacity to fill these lines,
3 then we would adjust these down.

4 We have reviewed quite a bit of data
5 from the ISO, particularly July 24, 2006, to look
6 at what imports they saw on that very high load
7 day. And we feel like these are reasonable
8 assumptions.

9 This is one area that our forecast has
10 differed slightly with the California ISO; and
11 some of that may be the way we treat the Central
12 Valley Project. We treat the project as all being
13 in SMUD's control area, as they schedule through
14 SMUD.

15 The reality is they break up and they
16 provide energy and capacity to several utilities,
17 many within the ISO, and some may be scheduling
18 through the ISO -- some of those facilities may be
19 scheduling through the ISO.

20 So the bottomline we come out about the
21 same. We may count it in import, they may count
22 it as an existing generation number.

23 PRESIDING MEMBER BYRON: All right,
24 thank you. I won't ask any more questions, but I
25 do want to note that I'm probably going to lose my

1 fellow two Commissioners here to other obligations
2 here. And if you have any questions I'd like you
3 to please feel free to interrupt at any time.
4 I'll stop. Thanks, Mr. Brown, go ahead.

5 MR. BROWN: Okay, the purpose of this
6 slide is to show the many inputs that we have when
7 we do supply adequacy. The inputs that are in
8 grey are the ones that we've done probabilistic
9 assessments of and randomize these values.

10 So after we randomize these values that
11 are in grey, we will look at the demand scenario
12 and compare it supply scenario to come up with a
13 operating reserve margin. And every time we do
14 this, for every input that we do this, that's one
15 case.

16 We then run 5000 of these different
17 supply-versus-demand scenarios to develop
18 cumulative probability distribution.

19 And those 5000 draws provide the inputs
20 to this graph here. If you look at the blue line
21 running the entire length of the graph, this
22 represents each of those 5000 cases.

23 The area in the upper left-hand is going
24 to represent a day of low demand and low outage
25 conditions. And as we move through the middle of

1 the graph, demand is increasing or outages are
2 increasing. And then finally, as we move down to
3 the bottom portion of the graph, this is where the
4 system is straining on both supply -- on the
5 supply side as well as the demand side, with high
6 forced outages, possibly a transmission line being
7 out, as well as a possibly a one-in-ten
8 temperature condition.

9 So once we get to the 7 percent -- once
10 it looks like reserves are getting down below the
11 7 percent operating level we then add in demand
12 response programs. And that's represented in the
13 brown line underneath the blue. And they only go
14 out to 7 percent because that's when they would be
15 normally triggered. And we'll have some
16 discussion on whether this is -- how the actual
17 system operates. There's some various stages when
18 some of these can be triggered.

19 And then finally when we get down to the
20 5 percent level, we have access to the
21 interruptible load programs. This is a stage 2
22 condition. And the green line represents the
23 operating reserve margins when we include all
24 resources, demand response and interruptibles, and
25 compared them against the various load conditions.

1 And this chart here represents the ISO,
2 as a whole. The next two charts will break the
3 individual regions.

4 And for the California ISO we're again
5 forecasting a .6 percent of a loss of load, loss
6 of firm load.

7 Same information for the NP-26 region.
8 And for the NP-26 region we're forecasting a .7 of
9 a percent probability of firm load curtailments.

10 And finally, SP-26. And for SP-26 the
11 probability of firm load is 1.6 percent. And as
12 you can see there's quite a wide gap between the
13 demand response and interruptible load programs.
14 And that's roughly 1000 megawatts of interruptible
15 load kicking in, and that's how much impact it has
16 on system operating conditions.

17 Okay, and just to run through the
18 various assumptions going into the deterministic
19 table that then flows into the probabilistic. This
20 is the existing generation. This is as of August
21 1, 2007. This table basically takes our number
22 that we had in the 2007 outlook, confirms what
23 generation additions came online, and then it's
24 added to the various line items in the appropriate
25 category.

1 And, Commissioner Byron, this is where
2 the Sutter Power Plant was moved in on the
3 merchant thermal line for NP-26. And subtracted
4 from the nonCalifornia ISO at the bottom.

5 2008 additions. Because we are quite a
6 bit earlier in the process than we normally would
7 be, we will still have to do some followup to
8 track how far along these additions are. All the
9 additions we are tracking right now, major
10 additions, are in the SP-26 region for 935
11 megawatts, as well as IID's peaker project for 78
12 megawatts in the nonCalifornia ISO portion.

13 I think Edison will have some comments
14 on the Inland Empire project, as well.

15 This breaks out the net interchange and
16 what goes into the net interchange for each of the
17 various regions. The statewide and SP-26 totals
18 have not changed. California ISO and NP-26 totals
19 did change to account for the 250 megawatt
20 reduction in Central Valley imports into the ISO
21 control area.

22 And just to go back to the footnote on
23 the actual outlook, itself, and talk about that
24 3000 megawatts that flows on Path 26, this is
25 summer of 2006 net interchange numbers for the

1 hour ending 4:00 in the afternoon.

2 The red line represents the 3000
3 megawatts that we include in the outlook.
4 Negative number means that it's flowing north to
5 south. As you can see by the actual data it's
6 very wide-ranging of what it could potentially be.

7 Again, this looks at the different
8 conditions in different regions. On July 24th,
9 the area highlighted here, was a extreme load day
10 in northern California. It was hot in southern
11 California, as well, but it was an extreme event
12 for northern California. So we can see that the
13 California ISO was able to balance the flow on
14 Path 26 to help accommodate that extreme load
15 condition.

16 This chart represents why we think that
17 the California-Oregon Intertie, as well as the
18 Pacific DC Intertie, will be able to be filled to
19 capacity this summer. This information is from
20 the BPA whitebook, their Pacific Northwest loads
21 and resources study. And it represents their
22 surplus capacity by various water conditions.

23 So the dark blue line at the top
24 represents the top 10 percent or the wettest
25 years. The light blue line is the middle 80. And

1 the black line represents bottom 10. And the
2 brown line on here represents 1937, and that is
3 the number, that's their driest water year on
4 record and that's the number they use for their
5 planning criteria.

6 The red bar across the middle represents
7 the nonfirm exports from the northwest to
8 California that we include in the outlook. And we
9 actually include 6000, but because this is a
10 forecast of their surplus they count some firm
11 exports. Then we have to subtract those off of
12 the number.

13 And finally this is just a breakdown of
14 the demand response and interruptible load
15 programs that we are including in the 2008
16 outlook. We'll have a much greater discussion on
17 these a little bit later, but this is how the
18 line-by-line breakout was -- this is how we came
19 to the line-by-line breakout to come up with
20 cumulative total.

21 Is there any questions? Or comments?

22 CHAIRPERSON PFANNENSTIEL: Just David
23 Hungerford is going to talk later about the demand
24 response and interruptible programs. Is he going
25 to use this page to kind of go through what we

1 expect for the summer? Or something like this?

2 MR. HUNGERFORD: Something like this.

3 CHAIRPERSON PFANNENSTIEL: Okay, I'll
4 wait until that -- thank you.

5 MR. BROWN: Okay. Thank you. Because
6 there's an awful lot of acronyms on here that I'm
7 afraid I don't know what they all are.

8 Any questions or comments from the
9 audience?

10 MS. SMUTNY-JONES: I'm going to sit here
11 so I can spread out, if you don't mind.

12 PRESIDING MEMBER BYRON: Go right ahead,
13 Ms. Smutny-Jones. Turn on your microphone,
14 please, and identify yourself.

15 MS. SMUTNY-JONES: Good afternoon.

16 Robin Smutny-Jones, Director of Regulatory
17 Affairs, here on behalf of the ISO. Happy New
18 Year to all of you. Happy to be here today.

19 And would have to open with Commissioner
20 Byron's remarks that it is, in fact, a bit early
21 for us to make meaningful predictions about the
22 upcoming summer because we're just getting some
23 data in, ourselves, and our normal season for
24 analysis is about now. So we're going to do our
25 best to make a couple of statements.

1 And I'd also like to introduce an effort
2 that we're kicking off with your staff; and had
3 some discussions with Commissioner Byron and
4 Advisor Ms. ten Hope. And we're excited about
5 that. So I'll just kind of go through a few
6 remarks here, and then I think I'm on the demand
7 response agenda to make a couple comments there.
8 So maybe I'll stay put in case there's questions,
9 if that's all right with you.

10 With respect to forecasting in general,
11 we have kind of gone back and forth in the past
12 several years about how we approach things at the
13 ISO, how the CEC approaches things. For awhile
14 the policymakers would call us in to energy action
15 plan meetings or what-have-you and say, well, why
16 aren't you the same, why don't you have, you know,
17 we expect you to come in here and really have a
18 consistent package of information. And it doesn't
19 quite work out that way.

20 And it took us awhile to explain to
21 folks that that's okay. Forecasting isn't about
22 right or wrong, who's right, who's wrong. There
23 are a number of different assumptions and analyses
24 that go into our respective assessments and
25 forecasts.

1 And we believe that's okay as long as we
2 can, together, combine our expertise and our
3 resources to package the most useful and user-
4 friendly information possible to deliver to you
5 all, the policymakers at the PUC, so they can then
6 make very important decisions about what's the
7 proper planning reserve margin; what's the proper
8 level of insurance. And if we have differences,
9 what are those differences, and why.

10 So that's kind of the goal. And we have
11 fiddled around with some discussions in the past
12 and great beginnings with Ms. Bender and others,
13 and to no one's fault there's been a lot going on
14 and it's hard to get real excited about number
15 crunching and spending time with that.

16 But we really believe it's a worthwhile
17 effort, and I think that we are dedicated on our
18 side. And I sense dedication on your side to take
19 this seriously and perhaps work out some more
20 concrete and consistent information, even by the
21 summertime when we have to go before whoever,
22 whether it's Energy Action Plan or whoever, to
23 deliver that information.

24 So we're looking forward to that. We've
25 had great collaboration in the past, and I look

1 forward to that being able to continue.

2 A couple of examples of what I mean by
3 that, what's different. A couple things I can
4 pull out here.

5 Import assumptions and hydro
6 assumptions. For import assumptions I'm told, I'm
7 not the expert here, I have a couple of folks that
8 do this day-in and day-out that I can probably
9 call on if I need to.

10 But, we believe that the CEC might take
11 an approach of looking at the transmission
12 capacity. And if 8000 megawatts can flow
13 through -- I don't think it can, it's more like
14 3500 -- whatever can flow through the Pacific
15 Intertie, then that's going to be the import
16 assumption.

17 The ISO takes a look at operationally
18 what is feasible. We take a different approach at
19 looking -- we have conversations with the control
20 areas to understand what their latest fish issues
21 are, and maybe we look at the wet database to
22 understand what new additions have come about; how
23 might that impact imports. That's one example.

24 And hydro assumptions, we have different
25 ways of coming at that, as well. Again, not

1 right, not wrong, just different. But what does
2 that mean. And all of this discussion, without
3 commenting on the actual figures that were brought
4 out by Mr. Brown and highlighted, it kind of goes
5 without saying that if we're going to come at
6 different numbers with regard to import
7 assumptions, let's just say for example ISO has an
8 import assumption of 7000 and CEC has import
9 assumption of 10,000, that's going to have an
10 impact on the bottomline number that everybody
11 likes to focus on with respect to probability of
12 peak day events.

13 Right now I think you're noting .1
14 percent, minus 2.2 percent, .5 percent in ISO.
15 We're currently sitting with the information we
16 have right now, which is not including a lot of
17 new information we're getting at something higher
18 than that.

19 So, you know, this is the kind of thing
20 that we want to be able to not get caught up in
21 some confusion discussion with a larger group.
22 And, you know, we just need to explain why and
23 what those differences are. And I happen to
24 think, I think we happen to think it's perfectly
25 okay as long as we can explain why those

1 differences are there. And then let the
2 policymakers make their decisions about planning
3 reserve margin.

4 There's a proceeding being undertaken at
5 the PUC right now to look at the planning reserve
6 margin. We're headed into an era of probablistic
7 analysis rather than deterministic, which I think
8 is more helpful in terms of understanding what
9 really might happen instead of rather arbitrary
10 look at is 15 percent right, is 17 percent right.
11 Bottomline is it's the state's choice and the
12 state's right to choose the level of insurance.

13 We want to be a partner with you and add
14 our expertise and resources to the extent we can
15 to complete that information for you. And, again,
16 I think we have a great working relationship and
17 have improved that annually, and look forward to
18 working that with you.

19 I don't think I have a whole lot more to
20 say on this particular issue for now, unless you
21 have questions. And then I'll wait patiently for
22 the demand response panel.

23 CHAIRPERSON PFANNENSTIEL: Robin,
24 actually I do.

25 MS. SMUTNY-JONES: Yes.

1 CHAIRPERSON PFANNENSTIEL: Where there
2 are differences in numbers I know that we can
3 agree, those of us who look at the numbers and
4 can, you know, make some judgments on them, that
5 maybe these differences aren't so great, or maybe
6 they're ones that we can understand.

7 But, you know, it gets sort of outside
8 of our little proceedings when other people take
9 this up. And they want to know whether there's a
10 low or higher probability of outage. How much
11 safety do we have.

12 And so do you have or will you have or
13 are you able to share with us today where the
14 specific differences are, and is the process that
15 you mentioned that we're undertaking now designed
16 to sort of peel back net import numbers and
17 determine why there is a difference? And look at
18 them in both context.

19 I'm just a little concerned that in the
20 past, the last several summers it seems that we,
21 you know, you and I and Commissioner Byron and
22 Commissioner Geesman, and probably everybody in
23 this room sort of knows what the differences are.
24 We're fairly comfortable with them.

25 But whether it's the news media a

1 certain way, or gets used in some other context,
2 other people may not have that level of comfort.
3 But I think we need to know as soon as possible,
4 and as clearly as possible, what the differences
5 are and why they are as they are.

6 MS. SMUTNY-JONES: You could not have
7 said it better. I just had some conversations
8 with Laurie about this, that we need to start from
9 the top. What are these forecasts being used for.
10 We need to really understand what they are being
11 used for.

12 And then we need to understand how we
13 generally have come about things. And I think the
14 biggest challenge might be how do we present it.
15 How do we articulate some very complicated issues
16 and assumptions and the nitty-gritty things that
17 go into the assumptions in a way that makes sense
18 for the Legislature and the Public Utilities
19 Commission.

20 I just had an MRI yesterday on my
21 shoulder. Believe it or not, as I was in the
22 machine I was thinking bout this. Isn't that sad?
23 I was thinking --

24 (Laughter.)

25 MS. SMUTNY-JONES: I was thinking about

1 how, you know, when you plan this system and make
2 it useful, if you can have the information that an
3 MRI gives you, rather than an x-ray, you probably
4 want to take that.

5 Got to look at expense. MRIs are a lot
6 more expensive. But you want to take the most
7 complete set of information that you have and make
8 the most use of it.

9 And I think to your point, very clearly
10 articulate what that information means so that
11 when it -- and understand how it's going to be
12 used, so we can all be on the same page.

13 So I couldn't agree with you more.
14 We're planning a meeting in the next -- we talked
15 about trying to get this in the next couple of
16 weeks. First we've got to line up our resources.
17 What else do we have to do. And then come up with
18 the best plan we can, so that possibly even by --
19 usually there's some May or June kind of we all
20 get together and say, all right, what does the
21 summer really look like, after having the benefit
22 of understanding snow pack and, you know, do we
23 have any pineapple express issues out there. And
24 hopefully not too many dry spells. All those
25 kinds of things.

1 So that is the intent. And I appreciate
2 your articulating it better than, I think, I did.

3 CHAIRPERSON PFANNENSTIEL: Thank you.

4 PRESIDING MEMBER BYRON: Okay.

5 MS. SMUTNY-JONES: Any -- you want to --

6 PRESIDING MEMBER BYRON: Yes, sure, go
7 right ahead. Thank you, Ms. Jones.

8 MS. SMUTNY-JONES: Thank you.

9 PRESIDING MEMBER BYRON: Please identify
10 yourself.

11 MR. ALVAREZ: This is Manuel Alvarez,
12 Southern California Edison.

13 PRESIDING MEMBER BYRON: I don't think
14 your microphone is on, is it?

15 MR. ALVAREZ: The green light's on.

16 PRESIDING MEMBER BYRON: Okay, there it
17 is.

18 MR. ALVAREZ: Manuel Alvarez, Southern
19 California Edison. Actually came up now because I
20 want to follow up on Robin's comment. Because
21 I've also done a lot of thinking about the issues
22 that Commissioner Pfannenstiel raised, and the
23 perception of conflicts that --

24 PRESIDING MEMBER BYRON: How's your
25 shoulder? Is your shoulder okay?

1 (Laughter.)

2 MR. ALVAREZ: I deal with heart issues
3 as opposed to shoulder issues, so collecting data
4 from various technicians is definitely part of my
5 equation now.

6 But, I guess, you know, if I was going
7 to follow the analogy, I guess I'd like to take
8 the data, the information from the x-ray
9 technician in addition to the MRI technician and
10 put them before you. And neither one of them is
11 better. It's who then analyzes that data and then
12 what implications can they identify and discover
13 the problem that you're trying to solve.

14 So I think you want to kind of keep that
15 idea in place as you think through. This is a bit
16 of an issue that's going to get teed up again in
17 the IEPR for the next cycle, because the
18 forecasting complexities and dilemmas that we
19 faced last time, I don't think have disappeared
20 from the equation yet. And we're going to
21 confront them once again.

22 But, I think you want to hear from as
23 many analysts as possible. And I've tried to push
24 this issue about finding the right forecast, and
25 it just doesn't seem to work. You want to hear

1 from the various analysts.

2 You don't want to stymie their
3 creativity and their analysis and their insight
4 that they bring to you, but you need to kind of --
5 I refer to it somewhat as a consensus. At some
6 point you're going to have to drive something to a
7 consensus, but I'm not sure I like that word
8 because of the implications it brings in in this
9 process. But you definitely are looking for
10 something by which you can wrap your arms around
11 about the best view at that particular time and
12 say, this is what we want to advance forward at
13 the PUC, at the CEC and the State Legislature.

14 But I want to caution you. I personally
15 don't feel comfortable with the word consensus
16 yet. But there's something out there that we need
17 to drive to in this forecasting process to get to.
18 And I'm not sure I have that answer yet. But it's
19 definitely something that will be a subject of our
20 discussion down the road in the next IEPR.

21 So, I just wanted to add that because
22 the topic came up. Thank you.

23 MS. SMUTNY-JONES: And a quick
24 clarification. I agree with the consensus may
25 have been pushed by policymakers sometime back in

1 EAP. Maybe a couple of you were one of them, I
2 don't know. But to say, can't you come forward
3 with one number and make our jobs easier and give
4 us, you know, we want one number so we can
5 understand.

6 And I think we slowly started to educate
7 ourselves and others that that's not necessarily
8 what you want. Forecasting is forecasting. It's
9 a guess, you know. If someone was going to be
10 right all the time, they'd probably be a very rich
11 person and they wouldn't be, you know, in this
12 particular business in this room.

13 But if you have the CEC say there's a,
14 you know, 2 percent likelihood of stage 2 or
15 whatever, and the ISO's at 1.5 percent. And we're
16 looking at all kinds of different information,
17 it's kind of cool to be able to think, well,
18 they're coming at it from completely different
19 ways, and yet we're pretty close.

20 So it's check-and-balance maybe kind of
21 idea. That's just one thought to keep out there.

22 PRESIDING MEMBER BYRON: If there's no
23 further comments we'll go ahead and move on.
24 Thank you.

25 MS. MARSHALL: Hi, I'm Lynn Marshall; I

1 work in the demand analysis office here at the
2 Energy Commission. And I'll talk a little bit
3 about the forecast that's used in the
4 supply/demand outlook and some initial analysis
5 we've done of last summer as an evaluation of how
6 well our forecast for 2008 looks right now.

7 So, while it's early for the operators
8 to start looking at supply/demand assessment, for
9 the purposes for which the CEC forecast is used,
10 primarily in the year ahead resource adequacy
11 process, we actually have to develop our forecast
12 early last summer.

13 So this was developed initially in our
14 staff forecast of 2008 peak demand where we looked
15 extensively at 2006 loads and temperatures.

16 And that analysis essentially served as
17 the starting point for our long-run forecast. So,
18 following that we updated our ten-year forecast in
19 which we forecast energy consumption for each of
20 the utility areas within the state using our
21 sector models.

22 And then from that we derive a peak
23 forecast and we incorporated most recent
24 population forecasts and economic forecasts and
25 updated some of our other assumptions.

1 But when you're forecasting near-term
2 peak demand, the growth rate of the forecast tends
3 not to change from vintage to vintage of forecast.
4 So what really drives our year-ahead peak forecast
5 is a starting point. And that's driven heavily by
6 what you assessment is of your most recent peak
7 demand. So where you are now determines where you
8 think you're going to be a year from now.

9 And in recent years we've compared our
10 forecast with the utilities, resolving differences
11 about that starting point, the weather-adjusted
12 starting point has been the critical issue in the
13 near-term peak forecast.

14 So, we have, at this date, only some
15 limited hourly load data that we used to do this
16 analysis, so we have the hourly loads for each of
17 the ISO's TAC areas, so that's NP-15, the Edison
18 area and San Diego. We're still working on our
19 San Diego analysis. They've actually peaked on a
20 weekend or a holiday two years in a row now. So
21 it makes the analysis a little more complex. But
22 we'll look at the ISO as a whole, and our NP-15
23 and Edison area results.

24 So this table summarizes what our
25 forecast was for last summer, and the observed and

1 then our weather-adjusted. So, for what we see so
2 far, we'll do more of this analysis in more detail
3 with individual load-serving entity hourly loads,
4 but right now it looks like our forecast is
5 consistent with the loads we observed last summer
6 for both NP-15 and the Edison area.

7 I'll say a little bit about how we do
8 our forecast. We don't do an ISO forecast. We do
9 the Edison planning area. We do Pasadena, we do
10 DWR, PG&E; and then for Edison and PG&E we're
11 actually forecasting for climate zones within
12 those areas. And then we aggregate them up and
13 match them to control areas.

14 And for north and south we assume a
15 diversity factor of about 2.5 percent. So that's
16 a coincidence adjustment that, on average, north
17 and south tend not to peak at the same time. I
18 looked at the diversity in '07 and that's about
19 what happened. In 2006 it was much lower. So,
20 that's an assumption that can affect the accuracy
21 of the ISO forecast.

22 So, here's a summary of the results we
23 have so far. And as I said, the '06 to '07
24 weather-adjusted growth rates are overall in line
25 with what we were forecasting. And I'll just go

1 through it -- well, first of all, I'll explain our
2 methodology for how we do the weather adjustment,
3 and then we'll just go through the graphs that
4 illustrate our results.

5 So, we have, when we're doing weather
6 normalization we're trying to predict peak demand
7 as a function of temperatures. And we use
8 weighted -- we weight temperatures by the
9 distribution of the saturation of air conditioning
10 in each of our climate zones.

11 And then for southern California we use
12 a second variable, daily maximum minus the daily
13 minimum that reflects the temperature spread. And
14 so we're estimating the temperature response of
15 peak demand, how high -- how much peak demand goes
16 up as temperature increases and the temperature
17 spread decreases typically.

18 We also get the reported demand response
19 and interruptible effects that are reported by the
20 utilities, and add those to demand. So, we're
21 weather adjusting the internal demand, not the
22 recorded demand.

23 So our maximum temperature variable,
24 it's three-day weighted; 60 percent today, 30
25 percent yesterday, 10 percent the day before that.

1 So we're capturing the effective heat buildup.

2 And you can see those are the weights for each of
3 the utility areas.

4 So we've got five weather stations for
5 PG&E and four for Edison. And then, as I
6 mentioned, we have a second temperature variable
7 for Edison that captures the temperature spread
8 that's highly correlated with humidity and it also
9 picks up the heat buildup effect when you have no
10 cooling at night, and the temperature spread is
11 very low.

12 So, here is the ISO as a whole for this
13 summer. And we have -- the dark blue line is
14 what actually happened, and the pink line is what
15 our weather statistics would predicted using our
16 weather results -- weather model from estimated
17 from 2006 loads.

18 And on the whole it looks pretty good.
19 We're tracking pretty well. The mean average
20 percent -- absolute percentage error is about 2
21 percent for the summer, as a whole. And you can
22 see the peak event there, just before the -- it's
23 just around the holiday weekend at the end of the
24 summer. And actually think the peak temperatures
25 were on the weekend there. So we could have had

1 higher demand had the temperatures peaked a little
2 later.

3 So here's the actual temperatures. So
4 you can see the temperatures actually went up to
5 almost to one-in-ten on the weekend, but on Friday
6 they were not much above one in two. There's a
7 difference there north and south.

8 Now, this is the same -- so we're a
9 little above one in two. This is the same data
10 compared to 2006. So that pink line is the 2006
11 daily temperatures. And you can see, it was a lot
12 hotter in '06. We all knew that. So in '06 we
13 were at above a one-in-ten, and here we're not
14 quite below.

15 Looking at controlling for temperature,
16 so this is a scatter plot where we're plotting
17 temperature versus demand, so it gives you a basis
18 for comparing the loads from year to year. And so
19 the pink line, the pink points, are 2007. And
20 it's a little higher than '06, but not a whole
21 lot. So that shift up represents load, you can
22 think of that as baseload.

23 It doesn't look like the slope is a lot
24 steeper. If the slope were steeper that would be
25 even greater temperature response in addition to

1 baseload. So, as we said in the summary, so it
2 looks like load growth of about 1.5 percent, about
3 in line with what we were forecasting.

4 Going back to, as we said, '06 was a lot
5 hotter than '07. And this is the top end of a
6 load duration curve, so this is the top 100 hours
7 sorted in rank order. And you can see the effect
8 of the higher average temperatures in '06.

9 You had -- on '07 there were only nine
10 hours over 47,000 megawatts and only about 20
11 hours over 45,000 megawatts. And compare that to
12 '06 where we had something like 60 hours over
13 45,000 megawatts. So, big difference in the load
14 duration curve at the top end. We don't have all
15 8760 for both years, but those load duration
16 curves flatten out, so they're right on top of
17 each other as you go farther down.

18 Okay, looking at NP-15, these are the
19 temperatures for the PG&E area. PG&E had two hot
20 weather events, but both of those were below a
21 one-in-two; essentially their peak ended up being
22 the same in both of those periods. And these are
23 the scatter plots for NP-15.

24 So, again, the same story is the ISO
25 2007 slightly higher than '06. Kind of a slight

1 shift up in demand. Our estimated weather-
2 adjusted peak is essentially the same as our '07
3 forecast.

4 Now, again, this is NP-15; this is PG&E
5 and DWR and NCPA and Silicon Valley all lumped
6 together. And as we get the individual load data
7 for each of those LSEs we'll look at it in more
8 detail and get a better read on it. So our end
9 results might change.

10 And here is Edison area, summer
11 temperatures for '06 and '07. And Edison, much
12 hotter; and you can see that holiday weekend they
13 were over a one-in-ten. So, the last weekday,
14 Friday, August 30th, they were about a one-in-
15 five, so that ended up being their peak day.
16 Would have been, if we'd had the weekend
17 temperatures occurring earlier, you'd had a much
18 higher demand.

19 And here's our scatter plots for '06 and
20 '07. This is a little misleading because it
21 doesn't account for the effects of the daily
22 spread variable. But it gives you a sense of what
23 the load temperature relationships are.

24 The weather-adjusted peak is actually
25 lower than our '07 forecast. I think that's

1 largely because DWR's loads were a lot lower than
2 we assumed in our forecast. We assumed their
3 average pumping loads based on what we observe in
4 an average water year.

5 So their average onpeak loads during the
6 summer in an average water year. And obviously
7 that was probably high for last summer. And also
8 there's generally kind of voluntary curtailment on
9 the part of DWR when their resources are needed.
10 So that tends to show up on the coincident peak.

11 And there are two -- in those slides I
12 realize we didn't show anything about how we
13 derived the one-in-ten. So those were our -- just
14 two more slides -- so that's our one-in-two. Our
15 one-in-two is based on the median temperature.
16 And we're using a historical dataset, 1950 to
17 2007.

18 So we estimated our load temperature
19 relationship and used the median temperature for
20 the one-in-two. And then the one-in-ten is the
21 temperatures at the 90th percentile.

22 So you can see on here, our one-in-ten
23 is the black dashed line up there. Now, another
24 methodology that some utilities have suggested we
25 should look at is rather than using just this as a

1 population, assume this is from a normal
2 distribution. That would give you a slightly
3 lower one-in-two, but it would give you a higher
4 one-in-ten.

5 PG&E, right now, we have a one-in-ten
6 multiplier of about 3.5 percent. Part of that is
7 because PG&E is a large area; it's geographically
8 diverse. So, if you look at the historic
9 distribution relatively few events we would
10 have -- we've observed at that higher range
11 compared to the Edison area. So I think that's a
12 methodological issue we'll probably continue to
13 discuss with PG&E.

14 Here is the temperature distribution for
15 Edison. You can see 2007 way up at the upper end.
16 And, again, we show a couple of different ways of
17 calculating the one-in-two. So our one-in-two is
18 that lower blue line.

19 If you use a shorter data series, if you
20 throw out the first three years of data, you can
21 get a higher one-in-two. I think if you put 1990
22 in there you could get a lower one-in-two.

23 So the estimates of the one-in-two and
24 the one-in-ten are really sensitive to the
25 methodology you use and the assumptions you use.

1 Our current one-in-ten multiplier for
2 Edison is, I think, 8.8 percent. That would be
3 higher than if you assumed we were drawing from a
4 normal distribution and used that other statistic.

5 And so that's all I have. Any questions
6 on this?

7 PRESIDING MEMBER BYRON: Ms. Marshall,
8 why is it that we use all the data that we use?
9 Is that because we've got that full dataset?

10 MS. MARSHALL: That's as much data as we
11 have. And so every year we get another data
12 series we add it. So we use the weather stations
13 we use because they're the ones for which we can
14 get data all the way back to 1950.

15 Some of the utilities would probably
16 argue in a reasonable case that there are other
17 weather stations that fit their utility loads
18 better. But they don't have nearly as much
19 historic data. So it's a tradeoff we make in
20 terms of having a longer historical perspective
21 and fitting the load data.

22 I think Edison uses a shorter history,
23 but they have different weather stations and they
24 don't have as much history available.

25 PRESIDING MEMBER BYRON: Following the

1 July 6, 2006 heat storm, coincident with Al Gore's
2 movie being out, there were a lot of folks that
3 thought we'd be in for warmer, you know,
4 statistically warmer summers going forward, and
5 more extreme events.

6 Is there any way that you think our data
7 should account for that possibility?

8 MS. MARSHALL: You know, we haven't seen
9 it in -- there hasn't been an obvious trend on the
10 peak temperatures. And, you know, that may be
11 true if you look at average annual temperatures.
12 But on the annual peak you haven't seen that.

13 On the other hand, there are datasets
14 that are being developed as part of the global
15 climate change analyses. They have downscaled
16 temperature datasets that would predict
17 temperatures under various climate change
18 scenarios.

19 The most recent study that I saw on
20 those reported that while they were doing a pretty
21 good job of predicting winter temperatures and
22 average temperatures, they were systematically
23 over-predicting peak.

24 That's obviously a problem for, you
25 know, doing a peak demand global climate change

1 scenario.

2 So I think it's something we want to
3 look at, but we also need to look at whether we
4 have a plausible temperature scenario.

5 PRESIDING MEMBER BYRON: Okay. Well,
6 I'm not sure there is an answer for that question.
7 And, with regard to all the data that you've got
8 here, forgive me but I'm going ask the direct
9 question about what about 2008.

10 MS. MARSHALL: Well, from the analysis
11 we've done so far, our 2008 forecast looks
12 reasonable. So we don't see any reason to change
13 the forecast we have out there now.

14 PRESIDING MEMBER BYRON: Okay. Any
15 other questions from the dais? All right, let's
16 open it up then to any questions from the public.

17 All right. Well, there'll be more
18 opportunity.

19 Ms. Marshall, anything else?

20 MS. MARSHALL: Nope, that's it.

21 PRESIDING MEMBER BYRON: Thank you very
22 much.

23 We may have Chairman Pfannenstiel back.
24 I understand she has an obligation at 2:00, but I
25 don't think we'll see Commissioner Geesman. He's

1 hopping an airplane to Washington, D.C.

2 (Pause.)

3 MR. HUNGERFORD: Good afternoon. I'm
4 David Hungerford; I'm with the demand analysis
5 office. And I work on demand response here at the
6 Energy Commission. I'm here to talk about demand
7 response projections for next summer.

8 We're going to do three things here.
9 One of them is we're going to talk about our
10 impact expectations, and this is the -- we'll go
11 into more detail on the slide that was at the end
12 of Denny Brown's presentation that Commissioner
13 Pfannenstiel asked about a little while ago.

14 We have some guests from two of the
15 IOUs, Edison and PG&E. And I believe SDG&E is on
16 the phone, and from SMUD, to talk about their
17 demand response programs and their triggers.

18 And then we'll briefly talk about a
19 proceeding that we're opening here at the
20 Commission on load management.

21 First we'll go to the impact
22 explanation. So this is a rather busy slide, but
23 it does lay out -- a little bit hard to read for
24 the people in the audience -- it does lay out the
25 programs that all of those acronyms stood for in

1 Denny's table. And it lays it out by the three
2 IOUs. We don't have the publicly owned utility
3 numbers in here, although in the future we will be
4 adapting to incorporate that.

5 If you look at each one, each of those
6 boxes are roughly parallel, although there's some
7 differences between the programs across the
8 utilities. And there are fundamentally two
9 different types of programs, or two different
10 categories of programs that we use.

11 One of them is what we call price
12 responsive programs which are triggered on a day-
13 ahead basis, and essentially function to reduce
14 the forecast for a peak day. And so they're
15 triggered in anticipation of a peak load day.

16 The others are what we call emergency
17 programs or reliability programs which can be
18 triggered under various conditions with a
19 relatively short response time. And we call those
20 day-out programs.

21 And looking at these lists, the AC
22 cycling, the smart AC programs, looking at PG&E's
23 list, would be an example of a day-out program.
24 And the base interruptible program, our
25 traditional interruptible rates where customers

1 get a rate discount in promise of a load reduction
2 during an emergency. Our example is another
3 example of the day-out program.

4 The pricing programs are the peak
5 pricing tariff, demand bidding program and some of
6 these others.

7 There's another thing we do with these.
8 We derate them. There has to be some way of
9 counting how many megawatts are in these programs.
10 And especially when you consider the price
11 responsive programs, it's difficult to predict how
12 much load a customer might drop on a particular
13 day in advance, because their response is
14 voluntary.

15 They're facing a high price during the
16 peak period, and there may be some times when they
17 can drop a substantial amount of their load; and
18 other times if you think about an industrial
19 customer who may be in the middle of a particular
20 process that they can't shut down, where they
21 can't drop as much load.

22 And so the only way to really predict
23 what's going to happen with the price responsive
24 program is to build a history of experience with
25 those programs; observe what customers are able to

1 drop, or customers who are participating on this
2 program, drop and make a statistical prediction of
3 how much load you'll get on a particular day. And
4 these de-rations are based on that kind of
5 experience.

6 If you're counting how much load, if
7 you're trying to figure how much load you have
8 available to you in a pricing program, you're
9 faced with having to count somehow how much a
10 customer is bringing to the table.

11 And one way to do that would be to count
12 their total peak demand as measured by their
13 historical consumption. And say, okay, that
14 customer, their total load on a hot day is 100
15 megawatts. It's clear that they're not going to
16 drop all 100 of those megawatts. They'll drop
17 some portion of that. And so you can count it
18 that way.

19 I believe the way most of the utilities
20 are counting their critical peak pricing program
21 is they made an assumption that something on the
22 order of 30 percent of the customers' peak demand
23 would be dropped, or could be dropped potentially,
24 on a peak day.

25 And, in fact, when we look at the

1 response to the programs we get actually a
2 somewhat smaller number.

3 And so their enrollment number is
4 roughly, if I -- David, is that correct, roughly
5 30 percent, was that the multiplier?

6 MR. REED: We used 15 percent --

7 MR. HUNGERFORD: Fifteen percent.

8 MR. REED: -- (inaudible).

9 MR. HUNGERFORD: Okay, so the -- looking
10 at SCE, the 3 megawatts in projected enrollment is
11 actually 15 percent of the total demand of the
12 customers in that program. And then that actually
13 ends up working as a multiplier.

14 So, these de-rations in the second
15 column are actually ways of putting the real data
16 to the enrollment numbers and predicting what
17 we'll actually get during the peak event, based on
18 history.

19 And we now have -- we're moving into our
20 fifth year of the more recent price-responsive
21 programs. And so these numbers are actually
22 stabilizing. They vary a bit. We do adjust,
23 based on experience, year by year. And the
24 utilities may do it a little differently than
25 we're doing it, but we and the Public Utilities

1 Commission have worked out a set of de-rations
2 which are listed in that column which we feel are
3 fairly accurate.

4 All right. There are also a number of
5 things happening, and recalling that that both
6 Denny and Lynn have described, that our forecasts
7 for this workshop is based on data from last year,
8 which is the best we can do.

9 There are a number of changes that have
10 happened to the demand response programs that
11 could affect these numbers for this coming summer.
12 But we're not certain what they are. And so the
13 utilities are actually going to update us on that
14 a little bit later.

15 As a result of the heat storm of the
16 summer of 2006, the PUC authorized the utilities
17 to make some changes to their programs. And
18 directed them to develop some additional programs
19 to try to build the demand response capability.
20 And the decision wasn't out until very late in
21 2006.

22 The utilities got going, trying to put
23 some of those things together by the summer of
24 2007. And got something going by that summer; got
25 some enrollment in some programs; made some

1 changes in their triggers. And some of that is
2 reflected in the numbers on this graph.

3 However, a lot of the things that they
4 were doing, especially the development of the new
5 programs, weren't approved until fall of this past
6 year. And so we're going to see some additional
7 demand response this summer that's not reflected
8 in this table. And that's one of the reasons we
9 asked the utilities to come, is to tell us about
10 what they've been able to accomplish over the past
11 year; what their enrollment, the new kinds of
12 customers, and their expectations for these new
13 programs.

14 All right, and I think at that point we
15 can move on to asking the members of the utility
16 representatives who've come to help us out today
17 to come up to the table, if you'd like. We have
18 Osman Sezgen from Pacific Gas and Electric
19 Company. We have David Reed from Southern
20 California Edison. We have Gary Lawson from SMUD.

21 And I hope we have Mark Ward from San
22 Diego Gas and Electric on the telephone. Can we
23 verify that we have San Diego on the telephone?

24 (Pause.)

25 PRESIDING MEMBER BYRON: Mr. Hungerford,

1 may I ask you a question?

2 MR. HUNGERFORD: You may.

3 PRESIDING MEMBER BYRON: Going back to
4 your DR impact expectations table, the de-rated
5 column where you have your factors, I can't help
6 but notice that Southern California Edison's
7 factors for the AC cycling and the critical peak
8 pricing are both 1s. And I was hoping you might
9 explain to me why they get full credit for those;
10 they must be very successful at those programs.

11 MR. HUNGERFORD: Edison reports two
12 different numbers when they file their reports
13 with the Public Utilities Commission on a monthly
14 basis for their programs.

15 They report an enrollment number and
16 they report an expected number in which they apply
17 their own de-rations to those programs.

18 PG&E and San Diego Gas and Electric
19 report only an enrollment number.

20 So the reason that those factors are 1
21 is that Edison has already done their own de-
22 rations of those numbers. And they just report
23 slightly differently. So I wouldn't want to
24 criticize SDG&E and PG&E as being less productive
25 in their programs than SCE is at this point.

1 PRESIDING MEMBER BYRON: All right.

2 MR. HUNGERFORD: They just report in a
3 different way.

4 PRESIDING MEMBER BYRON: It's an
5 artifact of the reporting.

6 MR. HUNGERFORD: That's correct.

7 PRESIDING MEMBER BYRON: Okay, good.
8 Thank you.

9 Well, welcome, everyone. Thank you for
10 being here today. How should we proceed? Should
11 we go left to right here, is that all right?

12 MR. SPEAKER: Your left?

13 PRESIDING MEMBER BYRON: My left,
14 please.

15 MR. LAWSON: Gary Lawson, Sacramento
16 Municipal Utility District.

17 MR. HUNGERFORD: Okay, I'm going to pull
18 up your presentations, Gary.

19 MR. LAWSON: Oh, sure. And if you'd go
20 to the last slide, that's got our demand and load
21 response table.

22 MR. HUNGERFORD: That one?

23 MR. LAWSON: Can everybody see that? I
24 apologize if you can't.

25 This is our set of expected programs for

1 our 2008 upcoming demand response programs. It's
2 pretty much a status quo set as compared to last
3 year and the last several years.

4 I'll go ahead and explain them. We've
5 categorized them into two categories, dispatchable
6 and nondispatchable. Dispatchable primarily means
7 where we have the control to either -- on a device
8 to shut it off or to request a customer to curtail
9 load under contract. The nondispatchable are
10 really customer response and voluntary programs.

11 Going down the dispatchable list, we
12 have our grandfather of load management programs,
13 residential air conditioning load management. We
14 have a range that we rely on internally for our
15 planning. The low end of the range, 97 megawatts,
16 represents a normal cycling event where we're
17 cycling customers at the cycling strategy they
18 enrolled in for the program.

19 And we had 50 percent, 67 percent and
20 100 percent cycling strategies. The 100 percent
21 being where we can completely shut off a
22 customer's air conditioner.

23 The 130 megawatt number is what we use
24 for emergency planning. And that's where we
25 literally shut off all participants' air

1 conditioners. And we would only do that in an
2 emergency, system emergency condition.

3 The industrial curtailment, we have a
4 couple customers under contract where they have
5 contractually committed to curtailing up to 12
6 curtailment events in any given calendar year.
7 And this represents the load available to us under
8 those curtailment requests.

9 We have the ability of notifying those
10 customers, in the case of one customer in the
11 morning for an afternoon curtailment; in the case
12 of the second customer, we can give them ten
13 minutes notice and they'll have their load off
14 within ten minutes.

15 So, the range of expected is 111 to 149.
16 We've recorded 147, I think, in our last year form
17 S1 filing to the CEC. And so those more than
18 likely are numbers that your staff is using.

19 Our left column represents our current
20 perspective of the performance of the programs.

21 For the nondispatchable programs, we
22 have three. We have one rate response program
23 similar to a critical peak pricing. We call it
24 our temperature-dependent rate. Effectively the
25 customers on that rate will receive a notice on a

1 day-ahead basis when our expected day-ahead peak
2 temperature is 95 degrees or higher. In that
3 event, the rate for the subsequent day will be a
4 super peak, critical peak pricing type of rate.
5 But they know ahead of time.

6 We'll either get no response, or some
7 response from the customer, based on whether they
8 either are constrained in their production and
9 must produce, or can actually respond to the price
10 signal.

11 Our demand bid program is a program
12 where our utility trading division in the morning
13 in advance of an expected extreme peak situation
14 would post a price of power we'd be willing to pay
15 for load curtailed by the customer. And it's
16 based on effectively a wholesale energy market
17 price.

18 Typically we don't see a lot of activity
19 or response to those prices. The only time we've
20 seen activity is when we've posted very large
21 prices. And so we, similar to what it looks like,
22 the investor-owned utilities, we don't have a high
23 expectation of participation on any given day with
24 this customer or this program.

25 Our voluntary emergency curtailment

1 program is a completely voluntary program that our
2 commercial account representatives approach
3 commercial customers who have significant enough
4 loads to do some curtailment on.

5 And in that program they enlist or
6 enroll themselves to volunteer to shed certain
7 loads in their facilities when called upon by
8 SMUD. And, again, it's completely voluntary.

9 The way it operates, SMUD has an
10 automatic dialing notification system. If our
11 system dispatch staff determines there's a need
12 for this load curtailment, they'll have the
13 program people initiate automatic phone calls to
14 customers. And we can see response within about
15 an hour of initiating the program.

16 Again, it's completely voluntary. The
17 45 megawatts is the maximum load subscribed to
18 under that program.

19 For our nondispatchable programs, while
20 we expect anywhere between zero and 61 megawatts,
21 we've reported 53 megawatts in our CEC form S1 to
22 represent our expected performance and any de-
23 rates in customer response.

24 I can answer any questions.

25 PRESIDING MEMBER BYRON: Well, that adds

1 up, it's a nice round number.

2 MR. LAWSON: Yes.

3 PRESIDING MEMBER BYRON: And just out of
4 curiosity, what percent of that is -- what's that
5 percentage of your peak load, then?

6 MR. LAWSON: SMUD's peak load is around
7 3700 megawatts. And that's the SMUD -- that's not
8 the SMUD control area, that is the SMUD load-
9 serving entity.

10 PRESIDING MEMBER BYRON: Okay, I can't
11 do that math easily; 200 divided by about 3700.
12 Thank you.

13 Okay, Mr. Hungerford, any questions for
14 Mr. Lawson?

15 MR. HUNGERFORD: No. Thanks, Gary.

16 PRESIDING MEMBER BYRON: Thank you.

17 MR. REED: David Reed, Southern
18 California Edison. Good afternoon. I just had a
19 couple of slides. First I want to just go over
20 where we are today in terms of enrollment and what
21 activities we have underway -- the numbers for
22 2008. And then the second slide is a kind of a
23 summary of the program operations, which I can
24 voice-over a little bit what we actually do.

25 MR. HUNGERFORD: David, is this the

1 correct presentation?

2 MR. REED: Yeah. So if we go to the
3 first chart, as of the end of 2007 we had 1321
4 megawatts of curtailable mode. And as David
5 Hungerford mentioned, we do our own de-rating;
6 look at historical performance on these programs
7 that we've seen. We take pretty drastic -- maybe
8 drastic is not the right word -- but we do de-rate
9 the price-response programs and modes.

10 Our interruptible programs are very
11 reliable and there's also a lot of penalties
12 involved if customers don't respond. So the
13 performance there is very high.

14 The critical peak pricing, we do have as
15 of this end of 2007, our price response programs
16 are 50 megawatts. The only program we've really
17 not de-rated on this chart is the Interlock
18 (phonetic) contract. We just signed them up; they
19 just started ramping up in July. And we've only
20 had three events. So there's really not enough
21 experience there to make a judgment yet.

22 But based on December 2007 we had 50
23 megawatts for price response programs. For summer
24 2008 we are intensifying our marketing for
25 critical peak pricing, so expect some bump there.

1 Also, the 16 megawatts for demand
2 bidding is based on 2006 performance. And we've
3 not updated it for 2007 yet. But, in fact, we had
4 probably double the participation in demand
5 bidding this last summer. And we signed up some
6 big customers that have made much more significant
7 load reductions for demand bidding events. So, in
8 fact, that 16 megawatts should probably be closer
9 to 30 megawatts.

10 Also Interlock contract is ramping up
11 contractually next summer to 40 megawatts. So,
12 you know, we'll see how they perform. But, in
13 fact, if they're going to come up to 40 megawatts,
14 and we bump up demand bidding, we're really closer
15 to 90 megawatts for price response next summer.
16 And that's not counting the pending application we
17 have for DR contracts for 2008.

18 The Utilities Commission is going to
19 make a decision on that at the end of February.
20 If they approve those contracts, we'll have more
21 price response DR in 2008. So we are making
22 progress bumping those numbers up.

23 For the interruptible programs I think
24 you're probably familiar with the base
25 interruptible and air conditioner cycling. And we

1 have an agricultural program, as well.

2 There, you know, we had a significant
3 growth in air conditioner cycling over the last
4 year and a half. We've added over 225 megawatts
5 there. So, it's really bumped up a lot.

6 And we've retained most of our BIP and
7 I-6 customers throughout the crises in the last
8 few years. So we haven't lost too many there. So
9 we're over 600 megawatts, as well.

10 And, again, we do de-rate the BIP and I-
11 6 slightly because occasionally customers for
12 whatever reasons don't curtail. But again,
13 there's significant penalties if they don't. So
14 they're pretty reliable.

15 Air conditioner cycling, as David was
16 alluding to, we don't have metering on the end
17 use, you know, the air conditioners. So we
18 basically rely on statistical analysis for what
19 load drop we expect from air conditioner cycling
20 in various temperatures. So this is what our grid
21 control uses to estimate what load reduction we
22 get during interruptions. So those are pretty
23 good numbers.

24 We do have internally plans, and we've
25 allocated funding for the -- that we've been

1 authorized by the Utilities Commission to increase
2 the summer discount plans, air conditioner cycling
3 next summer. So we're looking at adding up to 84
4 megawatts next year for summer discount plan by
5 the end of the year.

6 So, you know, if you kind of take half
7 of that by this summer, because a lot of times we
8 still get enrollments past the summer. Our
9 interruptible programs, I would estimate somewhere
10 around 1300 megawatts. So for the summer we're
11 probably looking at closer to 1400 megawatts of
12 curtailment.

13 That's compared in total to, I think,
14 the CEC Staff estimate of 1200 megawatts. So CEC
15 Staff was a little conservative, so that's okay.
16 But I think they're around 1200, we're 14.

17 On the second page, or the second chart,
18 is really just a kind of itemization of our
19 programs and how we call them, and what categories
20 they are.

21 Critical peak pricing, demand bidding,
22 capacity bidding and our Interlock contract we all
23 consider price response or demand response. And
24 they mostly day-ahead, in the sense that we
25 determine if we're going to call the event a day-

1 ahead and we notify customers a day ahead,
2 obviously.

3 We do have some features for demand
4 bidding as of the day-of. And for capacity
5 bidding a day-of, as well. And our Interlock
6 contract has a day-of feature.

7 We have, in the tariffs for all these
8 programs, we have what we call soft triggers. In
9 some sense we have kind of a menu that triggers,
10 but temperature, system conditions, wholesale
11 prices and so forth.

12 But what we elected to do this last
13 summer is to really kind of make it a little bit
14 more consistent across the program. So our
15 procurement folks wanted to use a 15,000 Btu heat
16 rate as the basis, a proxy for price. So, in
17 fact, when they forecast on a day-ahead basis a
18 15,000 Btu heat rate we determine, we decide to
19 launch the program for the next day. So there's
20 some consistency there.

21 In fact, and just from experience, last
22 year we called critical peak pricing 12 times
23 which was a tariff requirement. We called
24 capacity bidding and demand bidding around 20
25 times each.

1 And our complex, as I said before, our
2 Interlock contract we only called a couple of
3 times this last summer. And the Interlock
4 contract it says that SCE discretion. Our
5 procurement folks want to use that when it's in
6 the money, as they say. There's a strike price, I
7 think, at \$300 per megawatt hour. And when they
8 receive forecasts, however they do it out there,
9 they launch that program.

10 The difference -- the next group of
11 programs are interruptible programs. The
12 difference in terms of launching those is our
13 procurement folks launch the price response
14 programs. The interruptible programs, our grid
15 control launches those programs. And, in fact,
16 they have buttons that they actually push for
17 those.

18 On the interruptible programs our grid
19 control works very closely with the ISO in terms
20 of determining what programs to launch and how
21 many megawatts that we actually need. In fact,
22 during periods when there's issues with generation
23 supply, I think they're on the phone -- I think
24 John Gooden can confirm that -- I think they're no
25 the phone during that day and the day before to

1 insure that everybody's coordinated. So there is
2 that coordination there.

3 And, again, the BIP and I-6 and air
4 conditioning cycling programs are launched on a
5 stage 2, or transmission emergency. We have those
6 customers, the BIP and I-6, have 15 minutes, if
7 they elect to do that, or 30 minutes to drop load.
8 So it's a fairly quick response.

9 The summer discount plant, or the air
10 conditioner cycling, in fact, the grid control
11 pushes a button there, and the air conditioners
12 begin to cycle within ten minutes or less. So
13 it's a much quicker response.

14 And ag pumping, agricultural pumping, is
15 another load control program that's launched by
16 stage 2. The one nuance on the air conditioner
17 cycling, we do have limited capability to launch
18 those programs by district or substations. And,
19 in fact, there were six events for air conditioner
20 cycling this summer. And I think most of those
21 were those hot days over Labor Day that Lynn was
22 talking about, where we had substation
23 transformers that were starting to blow, whatever.

24 All these programs are available in the
25 summer. They're all summer programs.

1 So that's basically it.

2 PRESIDING MEMBER BYRON: Very good,
3 thank you. If I may ask a quick question. Your
4 table shows -- the first table shows a total
5 capability at the end of last year around 1321
6 megawatts, and I believe you indicated that you
7 expected it to be around 1400 megawatts by the
8 summertime.

9 You know, this is tremendous. It's
10 great growth of the demand response programs. If
11 I understand, Mr. Hungerford, we're using a number
12 that's slightly less than 1200 megawatts for
13 Southern California Edison service territory.
14 That's a difference of about 15 percent by my
15 math. Do you want to --

16 MR. HUNGERFORD: Which reflects the
17 growth in the programs that SCE has been able to
18 accomplish since last summer, or towards -- since
19 the numbers that we used were developed, until
20 next summer. This is their projections based on
21 the new enrollment and the new programs that were
22 approved last year.

23 And so we're aware that those programs
24 are being developed, but --

25 PRESIDING MEMBER BYRON: And I know

1 we've taken a conservative approach. We wait for
2 enrollment, we wait to see what happens, we wait
3 to see how successful these programs are.

4 Will there be an effort to reconcile
5 these numbers and update our forecast this year?
6 Or are we going to hold the numbers we've got?

7 MR. HUNGERFORD: I can ask Lynn to --
8 it's your forecast.

9 PRESIDING MEMBER BYRON: You can answer
10 later because we've got a few more service
11 territories to go through. We'll see how
12 significant it's going to be.

13 MS. MARSHALL: Right, I do have to talk
14 about that. There was not --

15 PRESIDING MEMBER BYRON: You need to
16 step up to the mike. Thank you.

17 MS. MARSHALL: We developed these
18 numbers last summer so they could -- we developed
19 these last summer so they could be used in the
20 year-ahead resource adequacy process.

21 PRESIDING MEMBER BYRON: Right.

22 MS. MARSHALL: For this spring the next
23 thing we have to do is actually develop a 2009 DR
24 forecast. So actually part of that could be an
25 updated 2008. So, you know, it's something that

1 can be developed. It's not something we're
2 working on right now.

3 PRESIDING MEMBER BYRON: All right.
4 Well, kudos to Southern California Edison. And we
5 encourage you to continue to grow these programs.
6 But, we'll at least footnote that for now, that
7 there's 200 megawatts that may be there that we're
8 not including in our accounting.

9 MR. HUNGERFORD: Well, I think we'll
10 find that we have the same kind of thing going on
11 with Pacific Gas and Electric and with San Diego
12 Gas and Electric for the same reason.

13 PRESIDING MEMBER BYRON: Yeah, that's
14 what I thought. Understood.

15 MR. HUNGERFORD: There were, in fact, a
16 number of these new contract programs where the
17 utilities are contracting with aggregators to
18 develop particular types of demand response
19 programs are all fairly new. In fact, PG&E's is
20 still up for approval right now, and a final
21 decision hasn't been made, if I'm -- unless I
22 missed the decision.

23 So, we'll see a few hundred megawatts,
24 actually, extra --

25 PRESIDING MEMBER BYRON: Okay, and

1 that's --

2 MR. HUNGERFORD: Extra --

3 PRESIDING MEMBER BYRON: -- and that's
4 fine.

5 MR. HUNGERFORD: -- extra megawatts are
6 good.

7 PRESIDING MEMBER BYRON: This is not a
8 criticism. This is really an explanation as to
9 why we see some of the differences that we see.

10 MR. HUNGERFORD: That's right.

11 PRESIDING MEMBER BYRON: Yes, Ms. Jones.

12 MS. SMUTNY-JONES: In the interest of
13 overall reconciling and trying to work together on
14 this, can I just ask a question? Are these new
15 programs, putting aside the interruptibles, the
16 other new programs that are being signed up, are
17 there penalties for those, as well, if they don't
18 show up?

19 MR. REED: Yes, there are.

20 MS. SMUTNY-JONES: Okay, so there's no
21 discounting that needs to happen or anything as
22 far as we know. Okay.

23 PRESIDING MEMBER BYRON: There are
24 financial penalties, right? There's no
25 retribution here, right?

1 (Laughter.)

2 MR. REED: Their capacity payments are
3 reduced. I think it's down 75 percent. At some
4 point, I don't recall the exact number, they start
5 paying us back with actual penalties.

6 PRESIDING MEMBER BYRON: Thank you. Did
7 you want to present -- were you going to go
8 through this other slide that you've brought, or
9 was that for later?

10 MR. REED: I think that's it --

11 MR. SPEAKER: We'll do that later.

12 PRESIDING MEMBER BYRON: Okay, that's
13 fine.

14 MS. ten HOPE: Can I ask a quick
15 question?

16 PRESIDING MEMBER BYRON: Please, go
17 right ahead.

18 MS. ten HOPE: I'm not familiar with the
19 Interlock contract. Can you explain what kind of
20 demand response program that is and how it differs
21 from the critical peak pricing --

22 MR. REED: Well, critical peak pricing
23 is a tariff for retail customers. Interlock
24 contract, Interlock actually has its own programs
25 with customers that it signs up. And as I

1 understand, most of them are chain accounts. And
2 it is very similar to the capacity bidding program
3 where there is a capacity -- it basically has a
4 nominated megawatts each month. And we pay them
5 with capacity rate times that. And then if we
6 actually call the event, we pay them, I think it's
7 -- actually, I can't say that, I think it's
8 confidential.

9 (Laughter.)

10 MR. REED: We pay them an energy
11 incentive, as well, if we actually launch the
12 event. And it's just very similar to capacity
13 bidding. It's a year-round program, though.

14 MS. ten HOPE: And coordinated by an
15 aggregator, so that --

16 MR. REED: Yes, an aggregator.

17 MS. ten HOPE: Okay.

18 MR. REED: Yeah.

19 MS. ten HOPE: Thanks.

20 PRESIDING MEMBER BYRON: Any other
21 questions for Mr. Reed?

22 Mr. Reed, thank you very much.

23 MR. HUNGERFORD: I'd like to move on to
24 Pacific Gas and Electric. And Osman Sezgen will
25 be speaking for PG&E today. Thanks for coming,

1 Osman.

2 PRESIDING MEMBER BYRON: Good.

3 MR. SEZGEN: Good afternoon. This is
4 Osman Sezgen from PG&E, together with Bill Tom.
5 We're going to talk about the programs in general,
6 their features and a comparison of our expected
7 megawatts this coming year relative to CEC numbers
8 here.

9 Our programs -- again David Reed went
10 over their programs -- pretty similar. I'll just
11 go over them very quickly. They're the price-
12 sensitive programs in the first block there, on
13 the screen, followed by the reliability programs.

14 And the first couple of lines, the
15 demand bidding program and the critical price peak
16 pricing programs are programs that are run by
17 PG&E. And the others, business energy coalition
18 program, capacity bidding program, aggregator-
19 managed programs and DWR contracts are third-party
20 either run by aggregators or third-party
21 contracts.

22 The purpose of this table is twofold.
23 One is, again, the second column describes the
24 calling features of these programs. And, in
25 general, the PG&E programs are either called by

1 like in the CPP, a forecasted day-ahead
2 temperature, a high temperature; or some kind of
3 California alert, notice or warning, or the load
4 in the area being forecasted more than 43,000
5 megawatts.

6 Generally the third-party programs are
7 run based on an economic basis, and then they're
8 tied typically to a 15,000 Btu per kilowatt hour
9 heat rate. And, of course, the emergency programs
10 are based on some feature, stage 2, typically a
11 stage 2 or a similar trigger.

12 Relative to the numbers that CEC
13 presented here, which are based on our numbers a
14 few months back, we have made some changes to
15 reflect the current outlook. One of them was
16 related to the smart AC program.

17 If you go down under the reliability
18 programs, we had a current settlement agreement
19 with TURN and DRA where we are limiting the rate
20 at which we are going to install smart meters, AC
21 cycling switches, and thermostats to our
22 customers.

23 And our previous forecast was that we
24 would get 96 megawatts by summer of '08, and then
25 we have agreed, at least in that settlement, to

1 limit that to 78.

2 So, going back, the number for PG&E that
3 CEC showed was 884 megawatts. And I'm talking
4 about reductions on that, that we're predicting.
5 So we'll be getting 20 megawatts less out of our
6 AC cycling programs. And then this is before the
7 Commission. There's not a decision yet on that.

8 Another area where we took some
9 reduction was the responses to CPP. Again, this
10 is a customer response. And then we call the
11 events and how much we get out of that is up to
12 the customers. And we reduced that by another 20
13 megawatts. And based on some M&E studies we
14 reduced our forecast for business and energy
15 coalition by 10 megawatts.

16 So, in general, our very conservative
17 forecast for '08 is around 826 megawatts.
18 However, we have a lot of activities to boost that
19 to higher levels. I would like to go through them
20 a little bit.

21 One of them is -- we have activities,
22 trying to firm the responses in several areas.
23 One of them is trying to market automatic DR into
24 the price responsive area so that, for example,
25 given, in the demand bidding program. The

1 customer may or may not respond, although they're
2 in the program. They may or may not respond. But
3 if you have automatic DR in the mix, typically
4 they, upfront, accept the situation. And when
5 there is a call they will respond.

6 So they're not in the loop unless they
7 bid out. So although they're in the voluntary
8 program, they may get their results from those
9 customers. So, we have activities in that area to
10 market automatic DR.

11 And then we have plans to improve
12 business energy coalition programs which, based on
13 M&E studies, have not performed as predicted in
14 here. And we'll be working on those.

15 So, in general, we have areas where
16 we're trying to improve the response this coming
17 year.

18 And, again, from operating these
19 programs, we'll take any questions you might have,
20 but David Reed has gone over them, together with
21 the other -- so I don't see any point in repeating
22 some of those.

23 Thank you. If you have any questions?

24 PRESIDING MEMBER BYRON: Well, thank
25 you, Mr. Sezgen. It would seem, in PG&E's case,

1 our DR impact expectations are slightly higher
2 than what they are showing us here today, correct?

3 MR. SEZGEN: That's correct.

4 PRESIDING MEMBER BYRON: By about 60
5 megawatts, 55 megawatts or so.

6 MR. HUNGERFORD: Right, and our numbers
7 don't include the recent settlement that was made
8 between PG&E and DRA and TURN on the expansion of
9 their AC cycling program. That accounts for quite
10 a few megawatts.

11 And their estimates for their peak
12 pricing program, they backed down a little bit on
13 what they're expecting for this summer. So, we
14 can incorporate those, as well.

15 PRESIDING MEMBER BYRON: I can't help
16 but notice that PG&E's number's a lot smaller than
17 Southern California Edison's number. But we'll
18 leave that for another workshop.

19 MR. HUNGERFORD: No comment.

20 MR. SEZGEN: Well, I think that would be
21 your AC cycling program which was -- PG&E started
22 last year. And we only had 5 megawatts this '07;
23 and then we're ramping up.

24 PRESIDING MEMBER BYRON: Good.

25 MR. SEZGEN: And I'd like to add one

1 more point which is another activity we're working
2 on is we have a new program before the California
3 CPUC, which is what we call the cafeteria-style
4 menu. And it's, I think, in the -- by the end of
5 this month there'll be a decision as to it's a go
6 or no.

7 The interesting feature of that program
8 is the customer's given a lot of choices in that.
9 And we believe the some reasons for customers not
10 participating in that is their constraints are not
11 represented in these programs well enough.

12 So we have this new program where the
13 customer can pick the times they can participate,
14 the days, the number of days, and the conditions.
15 So we believe with that program we can sell much
16 more demand response this coming summer. And it's
17 going to be decided by, I think it's on the agenda
18 on the 30th or I'm not exactly sure, but.

19 So, if that goes through we'll be able
20 to boost, we believe we have a big push for
21 selling programs in an integrated fashion with
22 energy efficiency, that's another thing.

23 We try to sell energy efficiency first.
24 And then later on demand response. That means
25 typically we take a hit at demand response targets

1 or responses we may get. However, in general, if
2 you look at them together it's a better deal for
3 the customers. And it's a better situation for
4 the society in general.

5 So, again, we're trying to sell energy
6 efficiency together with demand response. And
7 we're trying to improve participation through
8 incorporating customer choices in terms of when
9 they can do what, and basically the idea is to be
10 able to map the customer demand responsiveness as
11 good as possible to the markets and get the most
12 out of it.

13 PRESIDING MEMBER BYRON: Good. The
14 notion of customer choice, I think, sounds very
15 appealing. I hope it's more effective than the
16 penalty process. Do you really call it
17 cafeteria style?

18 MR. SEZGEN: Well, the name will change.
19 I don't know how that name --

20 PRESIDING MEMBER BYRON: Okay. I mean,
21 far be it from me, as an Energy Commissioner, to
22 tell you how to market demand response programs
23 these days. But I think people prefer gourmet
24 food over cafeteria.

25 (Laughter.)

1 MR. SEZGEN: Right, right.

2 MR. HUNGERFORD: It was the comfort food
3 movement initially, macaroni and -- comfort food
4 with --

5 MR. SEZGEN: The name change is in the
6 works.

7 PRESIDING MEMBER BYRON: Thank you.

8 MR. HUNGERFORD: Now, I believe that Ms.
9 Smutny-Jones from the ISO has some comments on
10 their perspective on demand response.

11 PRESIDING MEMBER BYRON: And before Ms.
12 Jones goes, did you have a representative from San
13 Diego?

14 MR. HUNGERFORD: Steve, do we have San
15 Diego on the phone?

16 MR. FOSNAUGH: Is there someone on the
17 phone from San Diego?

18 MR. HUNGERFORD: Apparently not.

19 PRESIDING MEMBER BYRON: No? Okay.
20 Well, thank you, gentlemen, for being here today.
21 I assume that we're going to come back at some
22 point, though, to additional comments from the
23 IOUs and SMUD with regard to our overall
24 forecasts? We'll get some additional comments
25 from them?

1 SPEAKERS: Yes.

2 MR. HUNGERFORD: Yes.

3 PRESIDING MEMBER BYRON: Apparently we
4 do have someone from San Diego on the phone.

5 MR. HUNGERFORD: Tim Vonder.

6 PRESIDING MEMBER BYRON: Mr. Vonager?

7 MR. VONDER: V-o-n-d-e-r.

8 PRESIDING MEMBER BYRON: Mr. Vonder?

9 Mr. Vonder, are you there?

10 MR. SPEAKER: The DR person --

11 PRESIDING MEMBER BYRON: Okay, we just
12 heard "DR person". Please go ahead and introduce
13 yourself.

14 MR. VONDER: No, I'm not the DR person.

15 PRESIDING MEMBER BYRON: Oh, okay.

16 MR. VONDER: That's Mark Ward, and I
17 guess he's not available. And I don't know why.
18 I wish I could comment on these, but I can't.

19 PRESIDING MEMBER BYRON: All right,
20 well, thank you for being on the line. We'll go
21 ahead then to Ms. Smutny-Jones, correct?

22 MR. HUNGERFORD: That's right. Did you
23 have slides, Robin?

24 MS. SMUTNY-JONES: I do not.

25 MR. HUNGERFORD: Okay.

1 MS. SMUTNY-JONES: I'll be brief, a
2 couple of remarks. I was asked to give a little
3 bit of a preview and highlight of the ISO DR-365
4 demand response -- and I'll take the opportunity
5 to do that. And a couple of comments surrounding
6 that, brief comments.

7 And no discussion with ISO about demand
8 response would be complete without our obligatory
9 plea with regulators to discontinue counting
10 demand response as resource adequacy products.
11 I'm sure that my utility friends in the room will
12 be shocked to hear this comment again, but we've
13 been requested to speak until we're blue in the
14 face about it, because we think it's important. I
15 even have blue hair I've been talking about it so
16 much.

17 First, I'd like to just mention briefly,
18 the ISO is really excited about demand response.
19 We really are dedicating a lot of resources to it,
20 commitment. We're working collaboratively with
21 the Energy Commission, the Public Utilities
22 Commission to put together a comprehensive
23 coordinated vision. We think it's going to play a
24 tremendously important role in our new electricity
25 world.

1 And a couple of key components of what
2 we believe our vision is. We believe that's a
3 shared vision. We're still working together on
4 it. We want to help provide a leadership role in
5 moving demand response into effectively a new
6 paradigm. It's been viewed in the past as
7 something we turn to at 4:00 in the afternoon on
8 an August afternoon. Everybody needs to please go
9 and turn down their thermostats and help us over
10 the peak.

11 And we believe this is something that
12 can be used effectively year-round, 365 days, thus
13 the lab name, DR-365, to do all sorts of things to
14 more efficiently use our resources. There's
15 exciting ways to help integrate demand response
16 with renewable portfolio goals. When windmills
17 get to whatever it is, 50 knots, they shut down to
18 protect the equipment.

19 If we can effectively tailor creative
20 market-oriented demand response programs to come
21 in and fill that gap, then we're taking the
22 pressure off of more fossil fuel backups that
23 would have to be there to help that facilitate the
24 renewable integration.

25 Ultimately we believe with the right

1 economic signals customers can and will
2 voluntarily follow those signals and react. And
3 the technology is there, or it's around the
4 corner. We've very excited about this, and real
5 excited in working with you all to make it
6 successful.

7 We've got some challenges in trying to
8 figure out where the ISO wholesale electricity
9 market integrates with the retail market and those
10 programs. There's different roles and
11 responsibilities.

12 There's aggregator roles; they might be
13 regulated in one spot. There's the utilities that
14 have their programs they're interested in.
15 They're regulated somewhere else. The Energy
16 Commission has new standards you're looking at to
17 help advance some of these technologies.

18 Commissioner Rosenfeld, god love him, is just
19 dedicated, so dedicated to moving these things
20 forward. So we're just real excited about it.

21 Let me make just a quick announcement
22 about our DR-365 lab. Again, it's based on the
23 notion that we should be able to count on demand
24 response year-round.

25 Currently we have an area at the ISO,

1 it's meager, it's modest, it's on its way. It's
2 evolving, it's not a very giant room, but it has
3 some technologies, three residential-based, one
4 focused on commercial customers.

5 And we're trying to expand demonstration
6 and showcasing of these technologies. So when we
7 have visitors, policymakers, groups, we have
8 various tours; and people that come in, we can
9 show them hands-on how this actually works. I
10 don't want to take up a lot of your time today. I
11 have a little cheat-sheet that kind of describes
12 them in general and what they do. I'm happy to go
13 through that with you if you'd like.

14 But, again, it's our way of saying we
15 are committed and dedicated to helping with this.
16 And our next steps will include showing how does
17 it integrate with the market. What happens when,
18 you know, the aggregator takes the information
19 that we have at a wholesale price level and then
20 translates that down to whether it's a utility or
21 ESP or whatever retail customer would take that
22 information and use it.

23 Now, for the blue-in-the-face comment.
24 We've made this comment so many times, but the
25 very simple concept is right now the emergency

1 assistance utility programs, interruptible in
2 particular, and I believe AC cycling included, are
3 listed and counted as resource adequacy, as a
4 resource we can count on.

5 The problem is we cannot access the
6 interruptible programs, these emergency trigger
7 programs, until we effectively at times violate
8 our own reliability criteria by going into a stage
9 2. We can't get to it.

10 And I think one of the utility
11 representatives mentioned today, these are summer
12 programs. You'll have X-hundred megawatts, you
13 know, in interruptible programs. And, by the way,
14 they can only be used, called on a certain number
15 of hours, and then they expire. You can't call on
16 them anymore. And yet they're listed as being
17 available year-round every month.

18 What you're effectively doing is taking,
19 you're chipping away at the operational reserves
20 and counting them in the overall planning reserve
21 margin that you can, you know, should be able to
22 access. You should be able to count on a RA
23 resource.

24 I don't think this concept is lost on
25 our friends at the Public Utilities Commission,

1 and the utilities, and even the large customers.
2 And there are some thorny issues to work out. But
3 it's something we just need to keep mentioning
4 because the overall consequence is we're acting
5 under a reduced planning reserve margin. I think
6 it's somewhere 3 to 5 percent of the actual margin
7 would be these kind of programs that we can't get
8 until we get into an emergency.

9 But to end on a positive note, we are
10 talking, we are working, you know, with each other
11 to try and work these out. But I just needed to
12 once again make that plug.

13 And I think that's my remarks unless
14 there are questions.

15 PRESIDING MEMBER BYRON: One would get
16 the impression that you don't like these programs.

17 MS. SMUTNY-JONES: I don't think it's
18 fair to say we -- well, obviously when we get into
19 the emergencies we love these programs.

20 PRESIDING MEMBER BYRON: Yes.

21 MS. SMUTNY-JONES: Thank you for -- if
22 you think that's coming across, we don't want it
23 to come across that way. We'd like to see a
24 transition to, again, a new paradigm where
25 programs are economically based, and we send

1 economic signals that tell customers to do
2 different things.

3 And there may very well be an
4 appropriate place in the future for these programs
5 to remain. But, again, we don't believe they
6 should count as our A resources.

7 PRESIDING MEMBER BYRON: Okay.

8 MS. SMUTNY-JONES: That's the point.
9 And if I could just turn -- basically anything we
10 should add?

11 That covers it. That's my remarks.

12 PRESIDING MEMBER BYRON: Thank you.

13 MS. SMUTNY-JONES: Thank you.

14 MR. HUNGERFORD: Thank you. And I have
15 one more slide in the demand response section, and
16 that's in the form of an announcement that the
17 Commission has opened an order instituting
18 investigation and rulemaking into to the
19 development of load management standards under the
20 Commission's load management standards authority.

21 The purposes are to assess rates,
22 tariffs, equipment, software protocols and other
23 measures that would be most effective in achieving
24 demand response, and adopting regulations and
25 taking other appropriate actions to achieve a

1 responsive electricity market.

2 And there will -- we are going to
3 schedule a scoping workshop sometime in the near
4 future, probably some time in mid-February, in
5 which the issues that we'll be discussing in that
6 proceeding will be scoped.

7 And so we invite anyone on the phone and
8 anyone in this room and their organizations to
9 attend. And to look on the CEC website for an
10 announcement to that effect.

11 Thank you.

12 PRESIDING MEMBER BYRON: Good, thank
13 you, David, for bringing that up.

14 MS. SMUTNY-JONES: May I add one more
15 housekeeping announcement?

16 PRESIDING MEMBER BYRON: Of course.

17 MS. SMUTNY-JONES: I forgot to do this.
18 I meant to lead with it, because I think folks who
19 are here might be interested, if you haven't heard
20 already.

21 The Governor today announced two new ISO
22 Board Members, Laura Doll of Santa Monica. I
23 think many of you know Laura was formerly
24 directing the California Power Authority under
25 David Freeman. And Mason Wilrich, who is current

1 Chair of the Board, was reappointed.

2 So those are two -- just a news flash I
3 wanted to pass on.

4 PRESIDING MEMBER BYRON: Good, thank
5 you. Two good choices.

6 MR. WOODWARD: Thank you. I'll be glad
7 to present now the third of our three-D
8 presentations on the demand forecast, demand
9 response, and now dependable hydro capacity.

10 Good afternoon, Commissioner Byron,
11 stakeholders, interested parties. I'm Jim
12 Woodward with the electricity analysis office.
13 And it's my pleasure today to present the
14 statewide picture of dependable hydro capacity for
15 this summer.

16 Because it's mid-January and still early
17 in the 2008 water year, I won't be presenting any
18 statistics about the current snow pack in the
19 Sierra, or the amounts of energy that are
20 generated from the volume of snow melt and
21 forecast runoff.

22 Instead I'll stay focused on the
23 capability of hydroelectric power plants to
24 produce electricity during the peak hour of
25 electricity demand this summer.

1 And if I'm very successful with this
2 presentation, or if I fail miserably, this could
3 be a one-time show.

4 First, a word about our sources and
5 filings for the tables that are in the handout and
6 posted to the web. The primary source of our
7 filings for these numbers were the ten-year supply
8 plans, resource supply plans, that were filed last
9 year by the load-serving entities with peak load
10 greater than 200 megawatts.

11 Plus we also, for the first time, had
12 the year-ahead resource adequacy plans that the
13 smaller LSEs provided to the Cal-ISO. And we also
14 requested for the first time statements and
15 tables, if we could get them, from the small
16 publicly owned LSEs elsewhere in the state.

17 So those numbers are roughly a year old,
18 but in some cases they're the -- like for the
19 small POUs outside of Cal-ISO, those are the most
20 recent numbers available on supplies, including
21 hydroelectric capacity.

22 And we used those filings, the ten-year
23 filings. We specifically looked at August 2008
24 for a consistent approach statewide. And for the
25 year-ahead RA filing, we used 2007 because that's

1 all we had, as a placeholder for what we expect in
2 2008.

3 And in our instructions to the LSEs,
4 adopted a year ago by this Commission, for those
5 ten-year supply plans, we specified that unless an
6 LSE states otherwise, that a hydro resource must
7 be able to operate during four super peak hours
8 for three consecutive days for capacity in that
9 month to come. And with very few exceptions
10 that's the metric they used.

11 One exception was LADWP that said they
12 count Castaic 1175 megawatts for one hour. Very
13 reliably. They can get it for eight hours. After
14 eight hours it's down to 1160. But the number for
15 one hour is 1175 for Castaic.

16 A second standard, a little different
17 than for utility-owned and utility-controlled,
18 would be the QF, qualifying facility, hydro that
19 is run-of-river. And according to the MRTU
20 tariff, which reflects the resource adequacy
21 conventions, it will be determined based on
22 historic performance during the standard offer 1
23 peak hours of noon to 6:00 p.m., using a three-
24 year rolling average. And that was meant to be
25 comparable to how capacity is counted for wind.

1 So those are one-in-two conditions for QF.

2 And I thought that might be a concern
3 until I looked at the numbers, themselves, and
4 found that for QF hydro they're really -- the
5 numbers are fairly small; 61 megawatts for PG&E,
6 one for San Diego, 17 for Southern California
7 Edison. So those numbers for QF hydro contracts
8 are fairly small on a statewide basis.

9 The large bulk of hydro resources are
10 utility owned and are large, over 30 megawatts.
11 This number for PG&E, 4370 megawatts, includes
12 just under 1000 megawatts under contract from
13 their long-term partners in irrigation districts
14 like Nevada, water agencies like Placer County.

15 And that's just a tradition that we've
16 used for a long long time, although they're not
17 specifically utility-owned and not necessarily
18 subject to dispatch, in general, we've included
19 that 1000 megawatts or so with PG&E's own utility-
20 owned dispatch system.

21 The second largest hydro capacity
22 resource is owned and operated by the Department
23 of Water Resources for the State Water Project.
24 And these are the numbers onpeak provided to us.
25 They gave us a supply plan for the offpeak period,

1 which is when most of their load occurs. But
2 they're also available onpeak, and we thought that
3 was the number that would be of more interest to
4 Cal-ISO and others, since that's when the
5 coincident peak occurs in Cal-ISO and statewide,
6 it's onpeak.

7 And you see, most of that, again, is
8 large hydro. DWR has a significant de-rate of 530
9 megawatts in a dry year, going from the median
10 one- and two-year conditions. But I would also
11 note that their pumping load also would go down in
12 a dry year. There's less water to be pumped and
13 delivered.

14 As they said to us, on an energy basis
15 their worst case year is the median year, when
16 there's water to be demanded, and there's water
17 available to pump, and they're an energy consumer
18 on net.

19 I'll come back up to this slide in the
20 dry year de-rate for PG&E, one is graded
21 confidentiality by our Executive Director in the
22 IEPR filings for 2007, as it was in 2005.

23 And I will tell you that that number is
24 not a big number, as can be inferred from publicly
25 available information, some of which I'll present

1 later. PG&E is here, as well, today; and may say
2 something on that point. But it's not included in
3 this total of 605 megawatts per Cal-ISO. And I
4 can assure you it's not a big number.

5 For Southern California Edison, this
6 includes their share of Hoover; it includes their
7 Big Creek hydro system; and their smaller hydro
8 resources, a few in southern California and on the
9 east side of the Sierra, like Bishop Creek.

10 And notice, too, there's no dry year de-
11 rate. I think that's largely a reflection of the
12 system's infrastructure, which we'll illustrate a
13 little bit. And also reflects the dependable
14 hydro capacity numbers really are based, in many
15 cases, on the one-in-five or dry-year assumptions.

16 So, CCSF stands for the City and County
17 of San Francisco Hetch Hetchy power system. And
18 most of that is for their own self-provided load
19 in the city, though they do have a little bit of
20 retail load at San Francisco Airport, elsewhere,
21 Treasure Island. But largely that's self
22 provided.

23 Silicon Valley Power has shares of the
24 Collierville Plant with NCPA; got the Grizzly
25 Plant on the Feather; and also some small hydro on

1 the west side of the Sacramento Valley.

2 NCPA's resource is largely the
3 Collierville Plant, and that's for the members of
4 the power pool. And then there are 12 other load-
5 serving entities in Cal-ISO that have hydro,
6 utility-owned or under contract. And that would
7 include Pasadena, Riverside. San Diego Gas and
8 Electric has 1 megawatt. Azusa has 20 megawatts
9 from Hoover and 20 under contract from DWR Diablo
10 Canyon. Vernon has 22. Power and Water Resources
11 Pooling Authority has about 22 megawatts.

12 And these numbers, let me go back. How
13 do I go back here, Denny?

14 (Pause.)

15 MR. WOODWARD: Okay. This number I want
16 to call attention to in the bottom right corner,
17 the sum for Cal-ISO, the balancing authority area,
18 is 7594 megawatts. It should be compared to this
19 number that was in Denny's presentation, slide 13
20 I think, earlier, and that's the de-rated hydro
21 based on a deterministic approach.

22 And using a different set of filings,
23 different sources of information are supplied in
24 the resource adequacy filings, you can see that
25 this deterministic number is very conservative

1 compared to what we'd expect, what the LSEs can
2 count on through resource adequacy.

3 And those are the conventions that were
4 adopted as standards established by our sister
5 agency, the California Public Utilities
6 Commission, and which have been adopted by the
7 FERC-approved ISO tariff.

8 And there are a couple other caveats
9 about hydro capacity for LSEs within the ISO. For
10 qualifying capacity, as we said, it's based on the
11 dry year, which, by definition, could occur one
12 year in five, any given year.

13 It's not looking at carryover or
14 multiple dry years in sequence, but it's based on
15 taking the statistics that are available and using
16 the -- variable head de-rate, and it would be the
17 one-in-five-year such as the fourth driest year in
18 the last 20 years on record for that month. It's
19 not usually the same for all months of the year.

20 And also Cal-ISO retains some discretion
21 over the hydro capacity resources owned and
22 controlled by LSEs, those noted on the bottom
23 bullet point. That influence is offset by this
24 general exclusion that pumping load and --
25 participating load and generation units of hydro

1 are not subject to the residual unit commitment
2 process, because they're use-limited resources,
3 energy limited.

4 They're not available -- they're not
5 required to be available to the ISO and in the
6 day-ahead markets and real-time markets if they're
7 not scheduled for use by that LSE. And that's a
8 reasonable accommodation for this type of
9 renewable resource. That you can only run the
10 water through the turbines once unless it's a pump
11 storage unit.

12 So, Cal-ISO can discuss annual use
13 plans, suggest revisions to the reliability -- or
14 the reliability needs of the system. We don't
15 know how that's going to develop under MRTU, but
16 we'd be glad to learn more about that from the ISO
17 Staff, as those resource use plans are developed
18 and modified. I think that's a placeholder
19 allowing for continued discussion and dialogue, if
20 there is any residual concern.

21 Now let's look at the other balancing
22 authority areas here in California. I'd better
23 back up and say one other thing about this chart.
24 Now I'm lost -- I'll stick with this one.

25 Hydroelectric capacity is a significant

1 resource for all six publicly owned LSEs in the
2 SMUD western balancing authority area. Note that
3 SMUD does not de-rate their hydro generating
4 capacity, which is warranted, I believe, as I'll
5 explain later.

6 This table does have one minor error in
7 the column for contracts that are backed by hydro.
8 The number shown is 438 megawatts, which was their
9 year-ago estimate for July of 2008. What I should
10 have shown here, but did not correct, would be 414
11 megawatts, SMUD's forecast for August 2008.

12 And as I mentioned for statewide
13 consistency, I tried to use August 2008 numbers
14 because that's when hydro would be less statewide
15 than it would be in July. Although it's not
16 always.

17 And we include Western here as end-use
18 loads. That's an estimate, 137 megawatts.
19 Western was not listed in Cal-ISO again for
20 consistency with the supply and demand tables.
21 Although they have end-use loads and total
22 requirements, customers like Trinity PV, that are
23 backed by hydro supply.

24 They're already counted as an import to
25 the ISO on that table that Denny had earlier. So,

1 to avoid double-counting we don't list Western's
2 end-use loads which would be about 367 megawatts
3 for their scheduling controller ID numbers.
4 Western's end-use loads within the ISO, about 367.

5 So, moving on to the Los Angeles
6 Department of Water and Power balancing authority
7 area. This is a very straightforward simple
8 table. And what you see is that Burbank and
9 Glendale each have 20 megawatt shares from Hoover.
10 And LADWP has much more that comes from Hoover,
11 over 490 megawatts when Hoover is full; plus two
12 aqueducts coming from the Owens Valley, and the
13 Castaic resource on the west branch of the
14 California Aqueduct.

15 And they don't do a de-rate of those
16 numbers. We asked and they said no, that's what
17 we count on.

18 So on a statewide basis, this is a
19 summary of those three previous slides, plus we've
20 added now Imperial Irrigation District, 33
21 megawatts over 30 -- a total of 65 megawatts for
22 Imperial Irrigation District. And that's all run-
23 of-canal hydro on the All American Canal.

24 And Turlock Irrigation District, 146
25 megawatts. Most of that's New Don Pedro. And

1 they will offer a de-rate for a dry year. Gave us
2 a number there. Turlock's in its own balancing
3 authority area with Merced Irrigation District.
4 And this number on their contract includes 3
5 megawatts that is provided to Merced Irrigation
6 District from Western.

7 Interestingly, Turlock and Modesto are a
8 little more sophisticated than most LSEs in
9 forecasting hydro capacity, and more importantly,
10 energy for them. They used actual reservoir
11 levels plus actual snow pack conditions, plus the
12 one-in-two forecast of continued precipitation as
13 the season goes on. Being an irrigation district
14 with power supply and customers, they can do that.

15 We were curious how would a severe
16 drought affect hydro capacity. That was in the
17 workshop notice. So, taking the filings from the
18 2005 IEPR, we looked at where de-rates, additional
19 de-rates would be noted.

20 In 2005 we asked for capacity in a one-
21 in-ten critically dry year. Now, you'd get better
22 than that in nine years out of ten. And these
23 were the four entities of LSEs over 200 megawatts
24 that replied with additional de-rates going from a
25 one-in-five to a one-in-ten. And that's only 140

1 megawatts.

2 And I've added this number here that was
3 not in the handout that was posted. I looked just
4 yesterday at Western's forecast for the Central
5 Valley Project. It's posted on their web as of
6 December 21st for the month of August 2008. They
7 do a one-in-two forecast and a one-in-ten
8 forecast. And the net reduction, going from one-
9 in-two to a one-in-ten for Western's Central
10 Valley Project is only 175 megawatts.

11 Their capacity from Western's plants
12 like Shasta, Folsom, New Melones would go down by
13 252 megawatts, but they also have reduced pumping
14 load on the Bureau of Rec project loads by 70
15 megawatts.

16 So the net, if they have a one-in-ten
17 from this point forward would only be 175
18 megawatts for Western --

19 PRESIDING MEMBER BYRON: So is that the
20 de-rate or the capacity?

21 MR. WOODWARD: That would be a de-rate.
22 The total capacity of Western's system is about
23 1250 megawatts.

24 So the larger point I would offer here
25 is that hydro capacity does not de-rate in

1 proportion to the annual or monthly snow pack or
2 runoff. It's the energy that will follow that
3 much more proportionately.

4 We have found, and the loads and
5 resources studies back this up, that utility-owned
6 hydro capacity, by and large, uses high head and
7 stock infrastructure. These are low volume, high
8 head facilities that are not subject to the gross
9 head de-rates that are caused by low reservoirs.

10 And they do very well at managing to
11 keep those reservoirs full through the summer when
12 the power is needed most and when it has the
13 greatest value.

14 The ones that we see better here in
15 Sacramento, the ones that are more conscious in
16 our minds are the multiple purpose reservoirs,
17 water storage, inner basin, transfers, flood
18 control, reservoirs like Shasta, Folsom, New
19 Melones and others like that.

20 But I would say those capacity and
21 energy numbers, looking ahead, are very
22 transparent, especially by Western, both in the
23 mid-Pacific office here in Folsom, and the lower
24 Colorado office in Boulder City, do publish at
25 least 12 months for the Central Valley and 24-

1 month-ahead forecast of reservoir levels, water
2 flows, capacity and energy. So it's not a secret
3 from our participants on what's coming there.

4 And to illustrate, the infrastructure
5 really has a dependable capacity. I've added some
6 kinds of slides. This is the Moccasin Power House
7 built by the City and County of San Francisco to
8 generate power from their Hetch Hetchy project.
9 It's 118 megawatt capacity does not diminish when
10 the Hetch Hetchy Reservoir is drawn down.

11 The three major power houses, Moccasin,
12 Kirkwood and Home are all located miles west of
13 Yosemite National Park, and are all supplied by
14 water diverted from the Tuolumne River.

15 Local size of California hydro plants
16 may vary tremendously. The majority of utility
17 bill megawatts use an infrastructure that is high
18 head, low volume; saying low volume compared to
19 the Columbia River. And these have the ability to
20 dispatch the plant to follow loads.

21 The catch in here describes the Hat
22 Creek number 2 power house, and you can see the
23 penstock delivering water to the plant with a
24 drop, a gross head drop of some 700 feet from the
25 supply lake. And this is not a run-of-river

1 hydro; it's not dependent on a dam located in a
2 river.

3 I took this photograph in October 1980
4 showing a PG&E canal in Mokelumne Canyon built in
5 1931. The Canal is running full on a warm, full
6 day, delivering 750 cubic feet per second to 37
7 megawatt Tiger Creek. When that water is
8 discharged, diverted again and delivered to 98
9 megawatt electric powerhouse.

10 The PG&E system has 68 powerhouses, 99
11 reservoirs, 184 miles of canals, 44 miles of
12 flumes, 135 miles of tunnels and 19 miles of pipe,
13 mostly penstock. Those were expensive to build
14 decades ago, and it's remarkably dependable today.

15 Here we see a portion of Edison's Big
16 Creek Project on the upper San Joaquin River.
17 Note the 1500 foot drop from Huntington Lake to
18 Shaver Lake. Well, if Huntington Lake goes down
19 by 20 feet or 50 feet, it doesn't change the gross
20 head significantly, which is what's related to
21 capacity.

22 The Portal Powerhouse, it discharges
23 into Huntington Lake, is fed by Lake Thomas Alva
24 Edison nearly 700 feet higher. In between
25 Huntington Lake and Shaver Lake is the 207

1 megawatt Eastwood Pump Storage Plant that can pump
2 water back to Huntington Lake.

3 There are four more powerhouses that you
4 see here that produce energy from water as it
5 drops back down to the San Joaquin River Canyon.
6 And there are two more large powerhouses outside
7 farther downriver.

8 I took this photo of Union Valley
9 Reservoir, SMUD's largest storage facility; and
10 the Crystal Range in June of 1971 here. And the
11 Union Valley Powerhouse there at 46 megawatts was
12 certainly able to generate full capacity.

13 But this powerhouse was probably derated
14 significantly or offline after the two driest
15 years in recorded history in northern California.
16 I took this photo in August 1977 on a hot weekday.
17 I was working for the U.S. Forest Service then,
18 the El Dorado.

19 And there's something else notable in
20 this photo, not readily apparent. The pipe here
21 in the foreground is a penstock that delivers
22 water to a dependable 24 megawatt Robb's Peak
23 Powerhouse, which discharges into Union Valley
24 Reservoir.

25 The gross head down from Ice House

1 Reservoir is 356 feet. And you can see, if you
2 look close, the riffles of white water as it runs
3 down the exposed lake bed. Which means the power
4 was being generated at Robb's Peak Powerhouse here
5 that day.

6 And also farther downstream, below Union
7 Valley, at 154 megawatt Jaybird, at 157 megawatt
8 Camino, and again at 230 megawatt White Rock, each
9 of which are fed by penstocks in SMUD's system. A
10 golden staircase it's sometimes called.

11 In 2003 we asked many hydro owners,
12 especially utilities, but all large hydro owners
13 throughout the state for information on their
14 hydroelectric facilities, environmental data,
15 operational data, historic generation data.

16 And in 2003 SMUD stated to us the basis
17 for their dependable capacity determination was,
18 quote, to provide sustainable capacity during a
19 repeat of 1977 hydro conditions." And at that
20 time even Union Valley is expected to produce 40
21 megawatts if 1977 conditions were to repeat.

22 I don't think you'd ever seen Union
23 Valley Reservoir drawn down this far again in
24 August, especially with the conditions of the
25 recently licensed Upper American River Project.

1 Mr. Luskin's nodding his head affirmatively. So
2 this is a unique photo.

3 When it's absolutely full Folsom Dam can
4 generate 199 megawatts with the rated gross head
5 of 300 feet. Here it's shown spilling water in
6 February of 1983 during the wettest year on
7 record. For this year in August, Western expects
8 Folsom capacity to be at 192 megawatts under
9 medium one-in-two conditions. And if it turns out
10 to be one-in-ten critically dry year, it'd be 153
11 megawatts.

12 But it won't be zero megawatts like it
13 probably was in August of 1990 when I took this
14 photo. This was year four of a six-year drought
15 that began in 1987, and continued through 1992.
16 The entire lakebed here, from Folsom Dam to
17 Beale's Point, is exposed.

18 Summer 1990 was an extremely hot year.
19 According to an October 1990 report by Mary Ann
20 Miller in our office, quote, "all three large
21 seven utilities set a new all-time record for
22 electricity demand on June 27th." This is 1990.
23 PG&E and SMUD set new all-time demand records in
24 August of that year.

25 In 1990 PG&E customers collectively beat

1 the previous annual peak demand record six times.
2 SMUD customers did it five times. LADWP customers
3 five times. SDG&E customers 11 times. And
4 Edison's peak demand beat prior year peak records
5 11 times in 1990.

6 And yet there is no summary, no hint in
7 the summary of loads and resources from 1990 that
8 I could find any mention or concern about hydro
9 capacity. Nor were any units over 200 megawatts
10 reported offline during that summer.

11 Remember please that most of the water
12 used to generate electricity during the summer is
13 not stored in manmade reservoirs, lakes or
14 underground springs. For every summer the biggest
15 storehouse of water is the Sierra snow pack shown
16 here in May of 1982, a wet year. This is north of
17 the Upper San Joaquin River.

18 Still, some will worry about the
19 available supplies because a shortage of water due
20 to drought is inevitable in California.

21 The worst two-year drought in recorded
22 history was 1976 and '77. And yet there was still
23 more than adequate hydroelectric supplies. I
24 meant to mention in that year PG&E, in 1977, based
25 again on loads and resources reports that we had

1 on file, in 1977 at the time of annual peak PG&E
2 reported in their summary of loads and resources,
3 to the Energy Commission in response to a
4 Commission order, that hydro capability at the
5 time of peak was 5281 megawatts, not including
6 pump storage. Helms (phonetic) was built later.
7 And that 5281 in 1977 that PG&E reported did
8 include Western's capacity of 1250 megawatts as I
9 mentioned earlier -- remarkable performance based
10 on records that we have.

11 Well, this is a view -- I took this
12 picture in November 1990 in the area just north of
13 Mt. Whitney. The annual snow pack is completely
14 gone. This was after four consecutive, critically
15 dry years in the San Joaquin Valley, starting in
16 1986. And it continued for two more years after
17 that.

18 This was the worst six-year drought
19 going back to AD 901. And this is based on
20 reconstructed river system runoff by the Tree Ring
21 Lab at the University of Arizona Tucson. In a
22 2001 report DWR, they found fossil tree ring while
23 excavating the foundations for Oroville Dam in the
24 1960s.

25 So there was no six-year period that was

1 dryer than 1986 to 1992 dating back to 901 AD,
2 which makes this a one-in-1100 years event.
3 Ending the water year in September 30th would be
4 cause for concern if we ever had a winter without
5 any snow. it appears that has never been the case
6 since 901 AD.

7 Though two years of 1579 and 1580 were
8 significantly dryer than 1976 and '77. There may
9 have only been one or two winter storms in the
10 year that Sir Francis Drake stayed on the coast
11 with all its stinking fogs.

12 Be that as it may, as soon as the first
13 winter storm has arrived, the first hydropower
14 fuel has been downloaded for the following summer.
15 And in carryover worries about huge de-rates in
16 hydropower capacity for the next summer are
17 unwarranted.

18 By the way, this is the southern high
19 Sierra in May of 1982, and that's Mt. Whitney at
20 the far left, looking east.

21 Think of your car for a moment. When
22 you're running low on gas it doesn't reduce how
23 fast you can go. It only reduces how long you can
24 operate at a given speed. If you can get that
25 fuel to the cylinders, you can drive a car as fast

1 as it was designed to run.

2 The hydro system operators know how to
3 get the fuel to the turbines and at the time it's
4 most needed to serve their customers. The hydro
5 system operators have decades of experience and
6 knowledge of how their systems perform. The
7 resource adequacy counting conventions for hydro
8 capacity are well accepted. They're not
9 controversial among the Commissions and the LSEs.
10 They are using them.

11 When it starts to swelter here in the
12 valleys, this is a resource that can be counted on
13 dependably year-in and year-out. And until then,
14 at least for the snow pack, I hope we can just
15 chill.

16 Thank you.

17 PRESIDING MEMBER BYRON: Thank you, Mr.
18 Woodward, a presentation unlike any I've heard at
19 the Commission before.

20 (Laughter.)

21 PRESIDING MEMBER BYRON: And good
22 graphics, too. So, bottomline, if I'm to take
23 your last slide, the numbers on it, adding 140 and
24 175, about a 300 megawatt de-rate in a one-in-ten
25 dry year, correct? Notwithstanding all the other

1 points you made with your photographs.

2 MR. WOODWARD: Illustrated.

3 PRESIDING MEMBER BYRON: Thank you very
4 much.

5 MR. WOODWARD: Thank you, sir.

6 PRESIDING MEMBER BYRON: Any questions
7 for Mr. Woodward? Good.

8 MR. WOODWARD: I was asked to try and
9 provide some operating or performance or hourly
10 data for the resource adequacy conventions and
11 assumptions that we've used. And they seemed
12 plausible. They seem to have veracity and
13 utility.

14 PRESIDING MEMBER BYRON: Nevertheless,
15 you have data that goes back to 1201. That's
16 better than --

17 (Laughter.)

18 PRESIDING MEMBER BYRON: That's better
19 than other groups in the Commission.

20 (Laughter.)

21 MR. LAWSON: Gary Lawson, again. I
22 don't know if it's necessary to throw up the
23 slide. In talking with Jim earlier this week I
24 think he just was looking for some confirmation of
25 his findings, at least as regards SMUD's own U--

1 system. And Jim is correct.

2 In regards his awful-looking slide of
3 Union Valley Reservoir from the '76-77 drought, we
4 were under an integration contraction operation
5 with PG&E at that time, and so our resources are
6 operated completely different now, as a control
7 area.

8 So we would never let that reservoir get
9 that low because we operate all our reservoirs to
10 maintain our dependable capacity, particularly in
11 the peak season of the summer months.

12 I just wanted to reiterate that for you,
13 and to support staff's conclusions.

14 PRESIDING MEMBER BYRON: So you are
15 confirming their conclusions? And also blaming
16 PG&E for drying the reservoir up?

17 MR. LAWSON: Yeah.

18 (Laughter.)

19 PRESIDING MEMBER BYRON: Thank you.

20 MR. WOODWARD: Is there some rebuttal
21 from PG&E or --

22 (Laughter.)

23 PRESIDING MEMBER BYRON: That's not
24 necessary.

25 MR. WOODWARD: Okay. Most of us have an

1 alibi for that period of time, 1977.

2 MR. TOM: Good afternoon; my name's Bill
3 Tom, I'm with PG&E. I'm the Manager of Electric
4 Supply.

5 And, Jim, you're a hard act to follow.
6 You very eloquently discussed the hydro situation,
7 the capability of the northern California hydro
8 system, in general.

9 I would like to elaborate a little bit
10 on what you've said, primarily focusing on slide
11 10, where you mentioned that hydro capacity is not
12 de-rated in relation to the changes in the
13 precipitation and snow pack.

14 And we agree with Jim's conclusion that
15 for the PG&E hydro system the capacities for our
16 system during wet, dry or average years do not
17 change very significantly.

18 One thing that does change during dry
19 years is the energy production. What we would do
20 is attempt to focus and generate during the high-
21 value, high-load months, load hours. And what
22 would be reduced would be the energy production
23 during the offpeak and shoulder hours.

24 So we again support Jim's conclusion
25 that energy production would be the key parameter

1 that would be affected by a drought.

2 One of the reasons, or the major reason
3 why we can conclude that the capacity of the
4 plants don't change significantly during water
5 conditions is that our reservoirs are not the
6 large, variable head plant facilities that the
7 state and the federal government have. Those are
8 multiple-use reservoirs, primarily built to store
9 water for irrigation, navigation and recreation.

10 We at PG&E employ a planning process
11 that is two years, an ongoing two-year planning
12 horizon which at the end of the first year we
13 assure that the reservoir storage levels are
14 adequate to, I guess, generate peak power during a
15 following year, assuming that it could be dry. So
16 we have a two-year hydro planning cycle within our
17 own organization.

18 Most of our facilities are like Jim was
19 saying, we have forebays in front of our power
20 plants, so that basically they store enough water
21 for peaking operation. And then shut off for
22 storage for the next day's peak or the next week's
23 peak. So it's basically unlike the Central Valley
24 Project or the DWR facilities. We operate
25 primarily focusing on peak operations.

1 I do want to clarify one point that Jim
2 made initially where he mentioned that as part of
3 the hydro dependable capacity there was 1000
4 megawatts of irrigation district facilities that
5 we do have under contract.

6 We do consider those facilities at our
7 disposal, subject to the terms of the contracts.
8 Within the terms of the contract usually the
9 irrigation district or the water agency has water
10 requirements which basically say they have primary
11 discretion on the use of the water to meet their
12 own requirements, their own irrigation
13 requirements, their own FERC Regulatory Commission
14 operating requirements.

15 Then after all those requirements are
16 met, then we have the discretion to actually
17 dispatch and schedule the generation from those
18 facilities to meet our loads. So that's under the
19 terms of the contract, is how we operate and
20 integrate those facilities into our hydro
21 portfolio.

22 Finally, I would like to say that right
23 now I agree with Jim, it's too premature to
24 reasonably predict the generation that we would
25 expect from the hydro system. But I would like to

1 say that due to the latest storms we've had about
2 10 inches of precipitation. And from our
3 preliminary assessment the snow pack, as of today,
4 is about average for this time of year. So we're
5 keeping our fingers crossed that, you know,
6 hopefully this will be a reasonably good hydro
7 year.

8 And we expect a rebuttal on the SMUD
9 arrangement under the integration contract.

10 (Laughter.)

11 MR. TOM: I believe we have, you know,
12 requirements under that contract, too, so that,
13 you know, restrictions on our use. So that's my
14 understanding. Typically, you know, I wouldn't
15 think that we would be allowed to enter into a
16 contract that give us free-for-all on somebody's
17 system. So it's pretty much, in my recollection,
18 similar to what we have with respect to our
19 irrigation contracts. There's some parameters
20 that we have to be operating within.

21 So, that concludes my presentation.

22 PRESIDING MEMBER BYRON: Very good,
23 thank you, Mr. Tom.

24 MR. WOODWARD: Thank you, Mr. Tom, and
25 from what I've heard from others, that would be

1 true of other utilities also, that Edison, for
2 example, would not be drawing down their Florence
3 Lake and Thomas Alva Edison Lakes like they were
4 in 1977, to nearly zero pool or minimum pool.

5 So, there is more focus on carryover
6 storage to allow for a safety factor for those
7 seven consecutive dry year, if it's critically
8 dry.

9 Are there any other comments on the
10 presentation, corrections? I'm always willing to
11 learn more online or offline about the systems.

12 If not, I'll turn it back over to our
13 leader here, Denny Brown.

14 PRESIDING MEMBER BYRON: Thank you, Mr.
15 Woodward. Mr. Brown, I understand that we have
16 someone from San Diego Gas and Electric that's on
17 the line, holding to speak on our previous item 4.
18 So maybe this would be a good time to go back to
19 our demand response and interruptible load
20 programs and hear from San Diego Gas and Electric.

21 MS. VESA: Thank you. This is Athena
22 Vesa with San Diego Gas and Electric. And I
23 apologize for being late at the meeting.

24 PRESIDING MEMBER BYRON: No, no
25 problems, Ms. Vesa. Thank you, we're glad to have

1 you. Go right ahead.

2 MS. VESA: Also I do have a presentation
3 that I'm looking at. Unfortunately, we didn't get
4 done on time to share with all of you.

5 But what we wanted to go through in the
6 small amount of time that we were able to converse
7 with David Hungerford to find out what information
8 would be useful for the purpose of this meeting,
9 we are talking about our internal procedures, when
10 we determine where economy of DRs end. Is that
11 useful to you?

12 And so during the summer seeing this
13 particularly we have what we currently call day-
14 ahead programs or should be more closely aligned
15 with price response programs. And we have day-off
16 programs which typically are more than reliability
17 type programs.

18 So, at the beginning of every day in the
19 summer we meet with our electric and gas
20 procurement staff to discuss the status of the
21 relevance to determine if any of the DR programs
22 will need to be called.

23 And our procurement staff actually makes
24 the decision. And it's primarily based on price.
25 And in particular, the currently trigger a

1 program, 3 DR programs that way. It would be our
2 summer saver program, which is our AC cycling
3 program; our capacity bidding program, which is a
4 statewide program; and our clean gen program, not
5 quite a demand response program per the definition
6 of the PUC, but it's a backup generation type
7 program.

8 So, these programs are triggered to meet
9 bundled load requirements on an economic basis,
10 determine a minimum load threshold for triggering
11 each program. And it depends on the availability
12 of hours and how many times we've already called
13 them during the season.

14 And so once the threshold is reached,
15 our procurement people will compare the costs of
16 any of these demand response programs to the
17 current other resources that they have, including
18 their market purchases. And that's what
19 determines when a demand response program will be
20 triggered.

21 And additionally, if any of the DR
22 programs are under-utilized throughout the summer
23 months they may reduce the load threshold for
24 triggering the program.

25 Regardless of remaining hours each

1 program triggered by the procurement group only if
2 it's economic compared to other resources that
3 they currently have.

4 The procurement group will also trigger
5 demand response programs to support any system
6 reliability concern that's directed by grid
7 operations and emergency operation center or the
8 ISO. And as such, SDG&E reserves a certain number
9 of hours in availability for each of these
10 programs for emergency conditions.

11 So, in general, what we have in terms of
12 how we call our programs that are price-
13 responsive.

14 Then we have what we call our soft
15 triggers, which are weather-based or both based --
16 on the system load at the moment, and we can call
17 our other demand response programs based on that.

18 And so for day-ahead programs we make
19 these types of decisions the day before we're
20 going to call the programs, and we inform all our
21 customers after 2:00 in the afternoon to let them
22 know that we are going to call the programs
23 tomorrow. And for the day-ahead programs, we work
24 with our grid ops people and our procurement
25 people and we are notifying customers as soon as

1 possible. Because I think we can call up to 30
2 minutes ahead of the event.

3 And so in general those are SDG&E's
4 over-arching procedures for calling demand
5 response programs. And we'd be happy to answer
6 questions on that, if there are any, the best that
7 we can.

8 PRESIDING MEMBER BYRON: Ms. Vesa, thank
9 you for joining us. I guess the primary question
10 I have, it would be can you put some numbers to
11 it? Our staff has indicated an expectation of
12 about 107 megawatts for the San Diego Gas and
13 Electric service territory. Can you provide us a
14 number or corroborate that one?

15 MS. VESA: If you can just hold on for a
16 few minutes.

17 PRESIDING MEMBER BYRON: Certainly. And
18 while you're looking that up, Mr. Brown, where are
19 we headed from here, after we close on this
20 particular topic? Are we going to hear from the
21 IOUs with regard to the forecast in general?

22 MR. BROWN: That's correct.

23 PRESIDING MEMBER BYRON: Okay, thank
24 you.

25 MR. BROWN: We'll open up to any general

1 comments.

2 PRESIDING MEMBER BYRON: I don't hear an
3 adding machine going in the background.

4 (Laughter.)

5 (Pause.)

6 MR. HUNGERFORD: Well, I think San Diego
7 could provide comments by -- they could send a
8 letter or an email to us and we could forward it
9 to the Commissioners, the Committee, to provide
10 that input to you, if necessary.

11 Would that be acceptable, Commissioner?

12 PRESIDING MEMBER BYRON: Sure. Really
13 what I'm interested in is you getting the feedback
14 and having the opportunity to resolve these
15 things. And we could do it by letter, but if Ms.
16 Vesa's still there it's always nice to press them
17 a little bit, to put them on the spot here, too.

18 (Laughter.)

19 PRESIDING MEMBER BYRON: Ms. Vesa, are
20 we going to get an answer?

21 MR. HUNGERFORD: Well, this is partially
22 my fault. I had spoken with your Advisors who had
23 asked me to ask the utilities to provide some
24 information about the way in which they went about
25 triggering their programs for the summer.

1 PRESIDING MEMBER BYRON: Ms. Vesa, it
2 looks like you may be off the hook here for now.

3 MS. VESA: Okay, but I think in going
4 over some of our results and our numbers, we can
5 substantiate that number. We can come close to
6 it.

7 PRESIDING MEMBER BYRON: Okay. Again,
8 thank you for joining us. And if it was late
9 notice, we all apologize. And we appreciate
10 everybody being here on such short notice, I
11 should say.

12 Anything else, Ms. Vesa?

13 MS. VESA: No, not if you don't have any
14 more questions.

15 PRESIDING MEMBER BYRON: Okay, thank you
16 very much. So we'll go ahead and finish up with
17 our agenda, then.

18 MS. VESA: Thanks for giving me this
19 opportunity.

20 PRESIDING MEMBER BYRON: Thank you. Mr.
21 Brown.

22 MR. BROWN: At this time I believe we
23 had Southern California Edison wanted to make some
24 general comments on the supply outlook. If you'd
25 like to go ahead.

1 MR. ALVAREZ: Good afternoon,
2 Commissioner. Manuel Alvarez, Southern California
3 Edison. I think you heard a lot of our issues,
4 and I just kind of wanted to bring it up to a
5 summary level.

6 Fundamentally, while we have some
7 differences of assumptions, our overall
8 conclusions with the Commission's analysis is
9 pretty much the same. So we feel comfortable with
10 you folks going forward with the findings and
11 information that you have.

12 You heard earlier about some questions
13 on methodology on the peak demand area. I think
14 those are going to be with us as we proceed into
15 the IEPR for the next cycle, and looking for such
16 solutions is probably paramount on our agenda.

17 There was an issue that showed up on the
18 Inland Empire project. We only count half of that
19 project as part of capacity, so that's actually
20 one of the main differences that just needs to be
21 accounted for.

22 And then our hydro assumptions we pretty
23 much agree with the staff's assumptions, so we
24 have no concerns there.

25 And then the last thing, you heard a

1 lengthy discussion on the DR issues. And I just
2 want to ask Dave if he has another issues he'd
3 like to bring up before we close out our concern.
4 Dave?

5 PRESIDING MEMBER BYRON: Thank you, Mr.
6 Alvarez. The Inland Empire Plant capacity ratings
7 are the important point. Appreciate that very
8 much.

9 MR. ALVAREZ: Thank you. And I guess
10 I'd like to add one more comment with regard to
11 the dry hydro assumptions, which seems, after Mr.
12 Woodward's presentation, that we're -- how can I
13 say this -- the utilities have been running these
14 plants for decades very effectively.

15 And I was talking to Yakout Mansour
16 yesterday with regard to our workshop, some of the
17 assumptions that we're making, as well. And he's
18 concerned about a potentially dry hydro year, as
19 he is every year. But that's the nature --

20 MR. ALVAREZ: He has a lot of issues to
21 be concerned with.

22 PRESIDING MEMBER BYRON: That's correct,
23 that's the nature of his job.

24 MR. ALVAREZ: On a daily basis.

25 PRESIDING MEMBER BYRON: And I guess I'd

1 just like to point out one thing, you know, when
2 the unexpected happens, as it did July 24th or so
3 in 2006 when we get a one-in-ten or a one-in-58
4 kind of temperature event, the ISO is actually the
5 one that came forward and found all those
6 additional resources that kept us in business
7 during that period, too.

8 But I'm still getting the distinct
9 message that the hydro, even in dry years, is
10 still good.

11 MR. ALVAREZ: I think actually your
12 point is well taken. I'd like to just put in a
13 plug for another activity the Commission's
14 involved with, and that's the contingency planning
15 exercises that it historically has always done.
16 And many of the emergencies and concerns that we
17 will deal with the energy system as a whole fall
18 under that program.

19 So, perhaps revisiting some of your
20 emergency standards and emergency contingencies is
21 something to think about on your agenda in the
22 future here.

23 PRESIDING MEMBER BYRON: Okay.

24 MR. SEZGEN: If I can --

25 PRESIDING MEMBER BYRON: Mr. Sezgen.

1 MR. REED: David Reed, Edison, again.

2 PRESIDING MEMBER BYRON: Oh, I'm sorry,
3 Mr. Reed.

4 MR. REED: I just wanted to make an
5 observation about the ISO's RA issue. I'm not a
6 planning person, I'm not a resource adequacy
7 expert, but I think there's a couple of issues
8 there, or just kind of observations.

9 One, I don't think you can just assume
10 that there's 600 megawatts of air conditioners
11 cycling that we can transform into a price
12 response program that the ISO can use. Because,
13 in fact, if we call our cycling programs 20 times
14 a summer, like we do with the price response
15 programs, we have a lot of customers leave the
16 program.

17 So the only amount that would be counted
18 for RA, I think, for the ISO would be a much lower
19 number. And we'd lose the interruptible
20 component.

21 So we're really sensitive, although I
22 think we do want to somehow come to a resolution
23 on it, we're really sensitive to the balance
24 between what we do to customers to get them to
25 participate, and what we need to do for our

1 system. So we have to kind of balance that out.
2 We can't go, you know, we can't push customers too
3 far or they'll start to get off the program.

4 The other thing is there's really kind
5 of a paradigm shift that's just right down the
6 road that I think will alleviate the RA issue for
7 the ISO. In five years we're going to have 4
8 million customers, residential customers, on the
9 price response program. Those same air
10 conditioner cycling customers are going to be on
11 price response.

12 So when we call a peak time of rebate
13 event we're going to offer those megawatts for
14 those same customers for the ISO for the day-ahead
15 market. And then we need to fashion how we'll
16 retain the interruptible capability of those same
17 customers so that if we have an emergency we can
18 utilize them for an emergency.

19 So I think the ISO would have what it
20 wants at that point. You're shaking your head.
21 So RA becomes almost a moot issue. And I think
22 there's two things going on there to drive that.
23 One's the MRTU and the other is the smart
24 metering.

25 So, that's all.

1 PRESIDING MEMBER BYRON: Okay, very
2 good. Thank you.

3 MR. HATTON: Hello. My name is Curt
4 Hatton; I'm here from PG&E today. I'd like to
5 thank the Commission for the opportunity to speak
6 on the summer 2008 supply and demand outlook.

7 First I would like to commend the CEC
8 Staff for continuing to employ a probabilistic look
9 at supply and demand issues, and resulting effects
10 on reliability.

11 PG&E's analysis of the loads and
12 resources in the California ISO, northern
13 California region, indicate an adequate planning
14 reserve margin for 2008 under average conditions,
15 and assuming that imports do not decrease from
16 last year.

17 PG&E does plan to fulfill its CPUC
18 resource adequacy requirements to meet at least
19 115 percent of its coincidental peak demands for
20 the month of 2008, and as well as have sufficient
21 energy capacity to maintain at least a 7 percent
22 operating reserve margin for an average summer.

23 However, we are concerned that the 0.7
24 percent probability of involuntary curtailment
25 presented by the staff today under-estimates the

1 probability of those involuntary curtailments.

2 One reason is, and I think Lynn spoke
3 earlier of this, is that the staff does not
4 include the effects of global climate change in
5 its load forecasts. PG&E has previously presented
6 information that the load forecast should include
7 the potential effects of global climate changes.
8 And given that global climate change is real, PG&E
9 believes that the true probability of temperatures
10 from the high end of the historic range being
11 observed in 2008 are higher than the probabilities
12 for that same event calculated from historic data.

13 Another reason is that the staff's
14 methodology for calculating outage probability
15 does not appear to include a nontemperature-
16 related variance in load. We note from prior
17 interactions with the staff that there's a
18 significant nontemperature forecast error.

19 For example, in the 2006 load forecast
20 report the 2008 peak demand for NP-26 was
21 projected to be 20,827 megawatts. While in the
22 most recent 2008 to 2018 report that projected NP-
23 26 peak was 21,671 megawatts.

24 This is a 744 megawatt increase from one
25 forecast to the next. PG&E believes that there

1 should be some factor for nontemperature-related
2 forecast error in the probability analysis.

3 Another reason is when one assumes stage
4 3 events are called in the analysis that Denny
5 showed, he included a 1.5 percent operating
6 reserve level for that. PG&E believes that 3
7 percent may be more appropriate level for
8 determining when state 3 events could be called
9 and the potential loss of involuntary curtailment.

10 ASSOCIATE MEMBER GEESMAN: Is that new?
11 Because that 1.5 percent number has been around
12 for a number of years now.

13 MR. HATTON: Well, I think it, again,
14 for example, here a stage 3 notice is declared by
15 the ISO any time it is clear that the spinning
16 reserve portion of operating reserves is less than
17 the ISO single largest resource or when real-time
18 operations the operating reserve is forecast to be
19 less than the single largest contingency.

20 I think there's some discretion as far
21 as what one considers to be the single largest
22 contingency and what percentage of the load that
23 is. So I don't think it's a hard and dry 1.5
24 percent. I think that it's --

25 PRESIDING MEMBER BYRON: But is this a

1 new position on PG&E's --

2 MR. HATTON: No, no, I don't -- no, this
3 is a position that we've held before, and we
4 continue to have that.

5 We'd also like to continue to work with
6 staff. We've had some good interactions with
7 staff, and we'd like to continue to work with them
8 to better understand a couple of items.

9 One would be totally resolve slight
10 differences between the existing generation
11 between what the CEC has and what the California
12 ISO has. It would be helpful to sort of settle on
13 a single number that would be consistent from
14 agency to agency.

15 In addition, I think this was brought up
16 earlier, too, from the ISO as well as from the
17 CEC, that one important contributor to supply and
18 demand balances, the amount of interchanges that
19 one assumes.

20 So we'd like to continue to work with
21 staff to look at the interplay between NP-26 and
22 the surrounding control areas, and make sure that
23 they're properly considered.

24 In the CEC's presentation I believe they
25 indicated an assumption of 950 megawatts made for

1 WAPA imports to the ISO. It would be helpful to
2 understand sort of the basis of this assumption.
3 And it would also be helpful on a larger scale to
4 look at all the non-California ISO loads and
5 resources, and look how the interchanges between
6 the California ISO, particularly the NP-26 area
7 and the surrounding control areas.

8 Lastly, again this gets back to the
9 probability assumption. We would like to work
10 with the CEC Staff to better understand the
11 probability assumptions in terms of mean and
12 variance and probability distributions that they
13 have used to represent some of the key
14 uncertainties. I think you used demand generation
15 outages and transmission forced outages.

16 So I think it would help facilitate our
17 understanding, and perhaps we could contribute
18 some information, as well.

19 PRESIDING MEMBER BYRON: Okay, good.
20 Well, certainly by being here you're
21 participating; that's the beginning of
22 participation. I want to see all the investor-
23 owned utilities intimately involved in our
24 activities and our forecasting.

25 Do you have any more that you want to

1 add --

2 MR. HATTON: No.

3 PRESIDING MEMBER BYRON: Do you want to
4 respond to any of those comments at all?

5 MR. BROWN: As far as doing supply/
6 demand balances for the individual balancing
7 authorities outside of the ISO, it's difficult
8 to -- in some of the balancing authorities it's
9 difficult to get without getting into some
10 sensitive numbers, when you go individually,
11 utility by utility.

12 If we break it down by SMUD control
13 area, Turlock, Modesto, and bring those in --

14 MR. HATTON: Well, haven't completely
15 thought through it, but it might be able to have
16 even from an aggregated sense of view, not
17 necessarily looking at SMUD independently or WAPA
18 or, you know, Modesto.

19 But look at them in aggregate so then
20 therefore some of the confidential sensitivities
21 may not be as apparent, but would shed some light,
22 perhaps, on the interchange between the ISO and
23 those neighboring control areas.

24 As I said, at the end, what we're not
25 looking forward is specific interchanges between

1 the ISO and one particular control area, but it's
2 an aggregate, the imports and exports either to or
3 from the ISO control area that we're interested,
4 and the effects on the liability.

5 MR. BROWN: Yeah, I agree that would be
6 very useful to have the interaction, as well as
7 some parties from the other balancing authorities.

8 As far as the rest of the interchange,
9 I'd be interested on PG&E's suggestion on how to
10 handle the 3000 megawatt north-to-south
11 assumption.

12 MR. HATTON: Yeah, that'd be good to
13 also investigate, as well.

14 PRESIDING MEMBER BYRON: All right,
15 thank you.

16 Ms. Marshall.

17 MS. MARSHALL: Yeah, on your suggestion
18 about incorporating nonweather-related forecast
19 error, we agree that's something we do. We'd
20 actually started that process and we compiled some
21 historic data. It's a work in progress, but
22 hopefully in some future vintage of the outlook
23 that'll be incorporated in the probability
24 assessment.

25 MR. HATTON: Thank you.

1 PRESIDING MEMBER BYRON: Okay, thank
2 you.

3 MR. BROWN: Is there anybody else with
4 any comments on any topic at this time?

5 MR. BURT: I'm Bob Burt, Insulation
6 Contractors Association. I think you have one of
7 those blue cards up there for me.

8 PRESIDING MEMBER BYRON: No, I don't,
9 but you're welcome to speak.

10 MR. BURT: Well, at any rate, I have
11 four unrelated comments. First is that I note
12 that this whole exercise operates very much on the
13 way that a typical Wall Street economist does,
14 namely things are going to go pretty much like
15 they are. And that, I think, is a reasonable
16 assumption here, except with one possibility.

17 We all recognize that energy prices are
18 going up because of the increased demand from
19 developing nations, especially China and India.
20 And that since electricity is pretty inelastic
21 it's pretty likely that your numbers are unlikely
22 to be changed much by the typical small increases
23 that we've seen lately.

24 But I'd caution that there's a
25 possibility that like any market we could suddenly

1 see a crisis jump, like doubling or more. And
2 because government always attempts to respond to
3 an economic crisis that bothers everybody, it
4 strikes me that it would be wise for this
5 Commission to have a small think tank somewhere
6 with a job of preparing what your recommendation
7 would be to do in such a case.

8 My other comments are not directly
9 related to the Energy Commission's immediate
10 responsibility, but they all have a very big
11 impact on this issue.

12 First, I noted the brief exchange on
13 cap-and-trade; and my comment on that is that it
14 should work if you're not too ambitious. But I
15 caution that we don't go into the error that
16 Europe did because they were so afraid of the
17 serious public adverse response to a near cutoff
18 of electric supply until the eventual arrival of
19 hoped-for nonfossil sources.

20 They made a gift to the electric
21 utilities of very large offsets when they started
22 their cap-and-trade. Well, several of those
23 utilities, apparently under the assumption that
24 either don't worry about tomorrow, when it comes
25 we'll worry then, or that maybe Europe was not

1 really serious about how much they're going to
2 cut, sold a lot of those offsets for multi-million
3 dollar profits.

4 And that's one reason that Europe actual
5 increase -- decrease in use of CO2 did not match
6 the U.S., which does not have any such program.
7 The only thought I would have is let's not be too
8 ambitious. Remember that cap-and-trade did work
9 on SO2 where the quantities were much smaller.
10 But as long as there is some effort to keep the
11 market in a realistic look at what's available at
12 reasonable prices, cap-and-trade should work.

13 My second point that is dear to my
14 heart, probably the largest single energy
15 efficiency potential in California today is in the
16 millions of homes which were built here before
17 about 1970, and all have empty walls.

18 The reason that that potential is very
19 little realized is that in order to pump
20 insulation into those walls you make holes, which
21 no matter how repaired, are ugly. And therefore
22 the homeowner is not going to be content to have a
23 job finished until he sees a paint job on top of
24 those holes which is increasing the cost.

25 My suggestion is that especially if cap-

1 and-trade does increase the value of energy
2 efficiency, that a program which offers a per
3 square foot allowance for painting on any walls
4 that are insulated would probably generate one
5 whale of a lot of energy efficiency. And since
6 that, among other things, would affect your peaks,
7 it's certainly worth looking at.

8 The reason I say an allowance per square
9 foot is that all of us who are much observant know
10 that during the ZIP program that there were a
11 large number of people in California eager to
12 defraud. And therefore, I don't think we should
13 offer to pay for paint jobs.

14 My last point is on cogeneration, and
15 I'm not -- this doesn't apply to my own
16 assignment, but as an engineer who stands and
17 watches the way California works, it seems to me a
18 terrible problem that considering the large number
19 of large energy demand heat sources in California,
20 that the trivial use we've made of cogeneration is
21 a scandal.

22 And I think that it's hard to say why.
23 My own guess is that there's a religious view that
24 if we can't dispatch it, it's not power worth
25 having. My own response to that is, hey, you're

1 not dispatching the demand and you have to respond
2 to that every damn minute.

3 So, I think some kind of a standing
4 order, or some other thing which would encourage
5 all those people out there that have got heat
6 sources that can easily be converted to cogen, to
7 start doing so would make a spectacular difference
8 in California's energy efficiency.

9 With that, I complete my remarks, and I
10 am happy to answer any questions or retire in
11 disgrace.

12 PRESIDING MEMBER BYRON: No, thank you,
13 Mr. Burt.

14 (Laughter.)

15 PRESIDING MEMBER BYRON: Thank you. How
16 are things going at home with Mrs. Burt? Have you
17 convinced her about compact fluorescent lights
18 yet?

19 MR. BURT: Well, we have compact
20 fluorescent lights in my study, and that's the
21 only in our house because my wife hates the color.

22 (Laughter.)

23 MR. BROWN: Any additional comments?
24 Commissioner Byron, any closing remarks?

25 PRESIDING MEMBER BYRON: Well, thank

1 you. This has been very informative. You know, I
2 note that the Energy Commission has the long-run
3 forecasting responsibility for the state. And the
4 ISO has the responsibility for the operational
5 reliability of the grid.

6 And there's a lot of expectation around
7 getting our numbers to coordinate, to be the same,
8 I suppose.

9 I agree with a lot of what Ms. Smutny-
10 Jones said earlier today. They do an independent
11 analysis, and it's a good objective check on what
12 we do.

13 But our goals are different and our
14 assumptions are different when we start out. I'm
15 also -- I'd also note that in my tenure here at
16 the Commission the forecasts are never correct.

17 I think the addition of the probabilistic
18 approach in recent years has done a lot to clarify
19 the role of uncertainty. I'm reminded of the fact
20 that doctors always project the birthdate of a
21 child by using a little calculator, but only about
22 2 percent of all children are born on their
23 projected birthdate. My point is forecasting is
24 never correct.

25 So there is a risk that demand will

1 exceed capacity. We accept this risk as an
2 economic necessity of not over-building capacity.
3 And we work very hard on the most cost effective
4 and economic ways to address this problem, outside
5 of building more generating capacity.

6 So, speaking as a customer who's turned
7 into an Energy Commissioner, I can tell you that
8 customers rely upon this organization to make good
9 forecasts, and they rely upon this organization
10 and the ISO and others to make sure that we get it
11 right.

12 So I'd like to thank everybody for being
13 here today. Thank you for all of your input and
14 comments. Very helpful. I hope you have a nice,
15 but not too hot, summer.

16 (Laughter.)

17 PRESIDING MEMBER BYRON: We'll be
18 adjourned.

19 (Whereupon, at 4:10 p.m., the Committee
20 workshop was adjourned.)

21 --o0o--

CERTIFICATE OF REPORTER

I, RAMONA COTA, an Electronic Reporter,
do hereby certify that I am a disinterested person
herein; that I recorded the foregoing California
Energy Commission Committee Workshop; that it was
thereafter transcribed into typewriting.

I further certify that I am not of
counsel or attorney for any of the parties to said
workshop, nor in any way interested in outcome of
said workshop.

IN WITNESS WHEREOF, I have hereunto set
my hand this 3rd day of February, 2008.

PETERS SHORTHAND REPORTING CORPORATION (916) 362-2345