

DOCKETED

Docket Number:	19-ERDD-01
Project Title:	Research Idea Exchange
TN #:	225915
Document Title:	Transcript of 10/25/2018 Staff Workshop
Description:	Staff Workshop Re. Next Generation Wind Energy Technologies and their Environmental Implications
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	11/16/2018 3:24:47 PM
Docketed Date:	11/16/2018

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ENERGY COMMISSION
ENERGY RESEARCH AND DEVELOPMENT DIVISION
TRANSCRIPTION OF RECORDED PUBLIC MEETING

OCTOBER 25, 2018
SACRAMENTO, CALIFORNIA

- Present:
- RIZALDO ALDAS, California Energy Commission
 - SILVIA PALMA-ROJAS, California Energy Commission
 - MICHAEL DERBY, DOE WETO
 - CASE VAN DAM, University of California, Davis
 - MO LI, University of California, Irvine
 - JASON COTRELL, RCAM Technologies
 - WALTER MUSIAL, National Energy Renewable Laboratory
 - KEVIN SMITH, DNV GL
 - DAVID STOM, California Energy Commission
 - JEREMY POTTER, Bureau of Ocean Energy Management
 - NETSA SUMAI, Bureau of Ocean Energy

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Management
DAVE PEREKSTA, Bureau of Ocean Energy
Management
JEAN THURSTON, Bureau of Ocean Energy
Management
DAVE PANZER, Bureau of Ocean Energy
Management
SCOTT TERRILL, H.T. Harvey and
Associates
DANIELLE MILLS, American Wind Energy
Association

Transcribed by: Julie Chandler,
eScribers, LLC
Phoenix, Arizona

--o0o--

1 **TRANSCRIBED RECORDED PUBLIC MEETING**

2 **October 25, 2018**

3 **MR. ALDAS:** All right. Good afternoon, everyone. I
4 think we're ready to start. Thank you all for coming,
5 and welcome to our workshop. This is called the Next-
6 Generation Wind Energy Technologies and their
7 Environmental Implications.

8 My name is Rizaldo Aldas. I am the program manager
9 for the Renewable Energy and Advanced Generation Research
10 here at the Energy Commission.

11 Before we move forward, I would like to mention a
12 few housekeeping items, especially for our participants
13 who are here in the room right now. First of all, our
14 facilities, if anybody will need to use the bathroom, we
15 have one out this door. You go out of the glass door and
16 to your right. And there's another one to the left.
17 There are filtered drinking fountains along that side,
18 both sides of the building if you need to get water.

19 Emergency exits are located outside this door, both
20 to the right and the main door where you came in.
21 There's another door at the back of the room over here
22 that we can also use.

23 Now, in case of emergency, you will hear a really
24 loud sound. It's annoying. It'll ask you to go out of
25 the building. And I will ask everyone to move out of the

1 building, follow the staff. Our convening area is across
2 the street in a park. So hopefully that will not happen
3 today during our workshop, right?

4 And lastly, we do have a sign-in sheet by the door.
5 If you didn't sign in, I'll ask you to sign in, your
6 name. And there are a couple of brochures out there,
7 agenda and the workshop notice, if you would like to get
8 some.

9 All right, with that, before I proceed I would like
10 to mention a few words just to kind of preview a little
11 bit our workshop this afternoon. So we know that the
12 state had a good wind energy resources, and at the same
13 time we also have high renewable goals.

14 At the moment, they estimate about thirty-two
15 percent of our energy's coming from renewable resources.
16 And wind energy is contributing about thirty percent of
17 that in terms of the capacity and thirty-one percent in
18 terms of energy generation. That's in megawatt hour.

19 And recently we know that our goal is to increase to
20 one hundred percent clean energy and one hundred percent
21 carbon neutrality by 2045, right? So wind energy, in my
22 view, will play an important role in achieving those
23 goals. And we'd like to ensure that wind energy will
24 continue to play that critical role.

25 Now, one of the questions that -- have we maxed out

1 our wind energy resources? Is there room for further
2 development for increasing our capacity? There are
3 estimates that there's the potential. They lack about
4 24,700 square miles with 120 gigawatt of wind energy. We
5 have advanced technologies like taller tower, longer
6 blades.

7 So in order to realize that potential and harness
8 those resources, we will need technological advances,
9 manufacturing innovations over what we currently have.

10 And so we organized this workshop to contribute to
11 that discussion. You will see that we have a lot of
12 questions. We're hoping to get feedback from our
13 experts, analysts, stakeholders, basically from everyone.
14 Questions like do we really need to go forward with those
15 strategies. Is it feasible to construct tall tower in
16 California and those kind of questions. So it will be
17 important for us to hear those feedback from you.

18 And then there is the offshore wind energy
19 resources. There's an estimated potential of 159
20 gigawatt from our offshore wind energy resources. It's
21 something emerging in California. There's a lot of work
22 that's going on in the East Coast and other countries.

23 But recently -- you may know -- there's also a lot
24 of work that has been going on in California, too, so --
25 and we will hear some of those during our afternoon

1 panel. And we would like to use this workshop to
2 contribute to those discussions.

3 So lastly, instrumentation, monitoring systems on
4 environmental (indiscernible) responses technology
5 performance. We view that as a kind of -- will help
6 improve the efficiency, cost competitiveness of wind farms.
7 And so we would also like to get feedback from our
8 experts and from everyone on that area.

9 All right. And so with that, let me move forward
10 with the next slide. Just to give you an overview what's
11 going to be discussed this afternoon, my colleague here,
12 Silvia, will provide an overview of the research
13 initiative that we have under the 2018-2020 EPIC
14 Investment Plan.

15 That will be followed by a presentation from Mike
16 Derby. Thank you so much for coming here and being
17 available to share with us the research and development
18 efforts going on on wind energy technologies at the
19 Department of Energy. We are looking forward to that.

20 And then we will have a panel discussion on research
21 needs and opportunities for next-generation wind energy
22 technologies. We are fortunate to have four experts here
23 from the industry and academe, and they will be sharing
24 with us their thoughts or insight on this topic.

25 And then after this panel, actually, we will open it

1 to a short public comments. We'll encourage everyone
2 that have comments to be specific to that particular
3 panel only. But if there will be general comments, we
4 will have opportunity for that after the second panel.

5 So the second panel will be on the risk to sensitive
6 species and habitats from offshore wind energy projects
7 in California. So that's where we will have a lot of
8 discussion on the offshore wind.

9 So after that we'll open it again for public
10 comments. We will ask folks who will be providing
11 comments to limit their comment to three minutes. The
12 first set of comments should be directed towards the
13 immediate panel, and then afterwards we will open for any
14 general comments.

15 All right. So just a few more additional
16 housekeeping notes. First of all, I'd like to use this
17 opportunity to thank everyone who have already submitted
18 their comments through our docket. We received those.
19 And we will also thank everyone who will be providing
20 their comments today.

21 And I would like to inform everyone that this is
22 being recorded via Webex, and the presentations will be
23 available after the workshop. And so with that, I would
24 like to call my colleague, Dr. Silvia Rojas to start her
25 presentation. Thank you.

1 **MS. PALMA-ROJAS:** Thank you, Rizaldo. And good
2 afternoon, everyone. And we are very happy to have you
3 here in via Webex for all the participants that are in
4 Webex.

5 And just to mention -- like, just to repeat what
6 Rizaldo said previously, this workshop is to gather
7 information and feedback from the stakeholders, the
8 experts about the challenges associated with the next-
9 generation wind energy technologies real-time monitoring
10 system for proactive maintenance in offshore and land-
11 based wind energy projects and research gaps. It's a way
12 they monitor environmental responses of offshore wind
13 energy projects in California.

14 Before moving to the expert presentations and the
15 panel discussion, I would like to give an overview about
16 our Electric Program Investment Charge, known as the EPIC
17 program, just so everybody has the same level of
18 understanding.

19 So our EPIC program aims to benefit direct payers of
20 the three largest electric investor utilities and by
21 funding clean energy technologies projects that promote
22 greater electricity availability, lower cost, and
23 increased safety. And also EPIC encourages technological
24 advancements and breakthroughs to overcome the
25 (indiscernible) that prevent the achievement of the state

1 statutory energy goals.

2 In our previous investment plans, our EPIC program
3 also funded some projects, and all of them were
4 addressing -- they all are addressing because they're
5 still active, some of them -- some of the challenges that
6 we identified in the following initiative.

7 The first one was more related to wind energy
8 forecasting. And the other initiative was related to
9 recovering wind energy.

10 Okay. So this is some of our projects in our
11 current wind portfolio. So we have one project that is
12 with UC Davis that is in the purple. We titled it
13 Powering Wind Energies.

14 So we are trying with that project to develop
15 inexpensive standardized turbine upgrades that will allow
16 legacy turbines to behave more similarly to modern
17 turbines, but these patches aren't enough when is
18 unofficial.

19 The project doing right now is installing the
20 (indiscernible) power in eight turbines. And also the
21 project team is collecting data from the hardware.

22 And also we have some projects that work in the wind
23 energy impact on wildlife, such as birds and bats. And
24 also we have a project with RCAM Technologies that works
25 on tall wind towers built onsite. And that project aims

1 to develop -- demonstrate -- it says a 3-D concrete
2 printed technology for building low-cost tall wind
3 turbine towers.

4 So right now the project team is working on the
5 structural performance characteristics for a baseline
6 concrete fabrication process, and continue improving the
7 principal concrete at this time.

8 And also, like I mentioned before, we have an
9 initiative focus on forecasting wind energy. So we have
10 also another project with UC Davis that was working in
11 improving a currency of production offshore wind ramp.

12 Our EPIC (indiscernible) environment plan was
13 approved last year in 2017, and we have two initiatives
14 under the same developed technologies that enable
15 increased wind capacity in California.

16 And that team we have two initiatives, like I
17 mentioned before. One is the advancement of
18 manufacturing install approach for 3D -scaling-based wind
19 turbine components. And they are trying to address the
20 challenges of larger and taller wind turbines.

21 And the other one is a real-time remote monitoring
22 system for offshore and land-based wind technologies.
23 And we try to address with that initiative the
24 development of system for proactive maintenance in wind
25 energy projects.

1 So for our first panel we prepared a set of
2 questions that we will try to bring the discussion on
3 onsite manufacturing of hybrid solution for wind energy
4 and try to understand the challenges that California has
5 to develop this type of approach, and of course the
6 research needs to overcome those challenges. Also we
7 have a couple of questions more related to the area of
8 material finds, where we also are going to discuss the
9 lifecycle aspects of those new approaches.

10 And also the last question is more related to the
11 monitoring systems for offshore and land-based wind
12 energy projects. And also we are going to have a
13 discussion on the future development and implementation
14 of offshore wind energy in California.

15 Like Rizaldo mentioned, we are going to receive
16 comments related to these questions. And also I have
17 some questions that I call the key questions, that also
18 if you can provide feedback. And those ones will help us
19 to understand better the context of taller and larger
20 wind turbines.

21 And I'll just do three of the questions. They are
22 like what is the current state of next-generation wind
23 energy technologies and real-time monitoring systems in
24 terms of benchmark performance, cost, and technical
25 characteristics? What are the costs and technical

1 targets that need to be met to drive adoption of the
2 targeted technologies? Aside from cost, what new
3 features and capabilities are needed to improve the
4 valued proposition of next-generation wind energy
5 technologies and real-time monitoring systems?

6 So like Rizaldo mentioned, we are going to keep
7 mention that we are going to receive comments until this
8 November 1st, 2018. And if you can comment for the
9 questions that we include in the panel, also the key
10 questions, would be great to have your feedback.

11 Now I'm pleased to introduce the next speaker,
12 Michael Derby. Michael Derby is the head of the
13 Research, Development, Demonstration, and Testing for the
14 Wind Energy Technologies Office in the Office of Energy
15 Efficiency and Renewal Energy in the U.S. Department of
16 Energy.

17 Michael leads the offshore land-based and
18 distributed wind (indiscernible) portfolio and DOE.
19 Directing research in the national laboratories to
20 address critical technological (indiscernible) to wind
21 plant performance reliability and maintenance. Mr. Derby
22 has been with the Department of Energy since 2009. Yeah.

23 Just to mention that the Energy Commission always
24 wants to ensure that our initiatives are not duplicating
25 DOE efforts, but leveraging them. Now the floor is

1 yours. Thank you.

2 **MR. DERBY:** Thank you, Silvia. And I want to thank
3 you for inviting me to speak today. I'm going to cover
4 real quick the research portfolio that we're doing
5 through the Department of Energy's Wind Technologies
6 Office. I'm the head of research there. Our office is
7 basically in a fight (ph.) research program.

8 A lot of what we touch on is --

9 **FEMALE SPEAKER:** Michael, you're going to have to
10 speak up.

11 **FEMALE SPEAKER:** There's a lot of fan noise in here.
12 If you could speak up a little bit.

13 **MR. ALDAS:** You can pull the mic.

14 **DR. PALMA-ROJAS:** I see -- no.

15 **FEMALE SPEAKER:** You can sit down. Thank you.

16 **MR. DERBY:** Is that better? Okay. The Department
17 of Energy looks at land-based wind, offshore wind, and
18 distributed wind. And the way we define distributed wind
19 is basically two point of views. It's wind power that's
20 attached to the distribution grid or point of use as
21 opposed to being on the transmission side, so it can be
22 utility-scaled turbines. It's not necessarily small
23 wind.

24 We look in basically three different areas, reducing
25 technology, costs, and risks, though. This is our

1 research program for technology. But that's not enough,
2 right? We also need to look at what it takes to be good
3 stewards of energy. So wildlife concerns, the human-use
4 conflicts, integrating onto a grid.

5 And the last area that we work in is really in cost
6 analysis. A lot of techno-economic analysis goes on to
7 understand what technologies we have are really going to
8 be efficient.

9 So if you consider how the wind industry has
10 progressed over time, cost of energy has come down. And
11 you kind of see a tipping point where deployment starts
12 to take off. And a lot of this is due to the fundamental
13 R&D that's taken place over the years.

14 You know, the early turbines had a few challenges.
15 And as we got smarter, learned more, the technology got
16 better and better, and costs kept coming down. And once
17 that happened, you know, it became an economical way to
18 do business.

19 We think there's a lot more to be had. NREL
20 recently did a study that shows if we continue to do R&D,
21 we can probably drive the cost of land-based energy down
22 by another fifty percent.

23 And that continued decrease in cost is really
24 important. If you look at the graph here on the right,
25 this is projections of continued wind deployment in the

1 U.S. based on a few scenarios. And if you look at the
2 dark red curve, that's really kind of if we don't
3 continue to innovate, wind doesn't deploy past 2020 until
4 you reach out to about 2040. You know, other forms of
5 energy are going to deploy, but we just don't see that
6 wind has a place there.

7 If we continue to innovate, we could achieve that
8 blue curve and wind deploys. It kind of levels off a
9 bit. But if we really pursue aggressive R&D, we think we
10 can reduce that cost by half. Wind continues to deploy
11 pretty much at the historical rate.

12 So what's DOE doing to look at this? We've got a
13 program that we call Tall Wind. It's primarily focused
14 around taller towers, bigger blades. And we also
15 consider the weight of the drivetrains, lightweight
16 generators.

17 One of the initiatives we have under here is called
18 a Big Adaptor Rotor Initiative. And it's specifically
19 looking at what it takes to do low specific power rotors.

20 So what's a low-specific power rotor? Basically, if
21 you take any given machine size and increase the rotor
22 diameter, you're decreasing the specific power of the
23 rotor. That directly impacts the capacity factor that
24 you'll get from that machine.

25 We're also looking at what can we do to get taller

1 towers? Now, taller towers exist. They've been deployed
2 in Europe for some time. And the challenge is making it
3 cost effective in the U.S.

4 Another area that we focus on is wind plant
5 optimization. So in our opinion the wind turbine OEMs
6 have done a really good job of optimizing individual wind
7 turbines. But those wind turbines act only thinking
8 about themselves. There's opportunities by analyzing an
9 entire plant and working on how these turbines work
10 together collaboratively to improve the energy production
11 from the entire plant.

12 We're also looking at offshore wind. There's a
13 tremendous resource off our coast. It's close to where
14 the load centers are. And there's a huge opportunity
15 there.

16 And if you look at the trends in Europe, the price
17 of offshore wind energy has come down tremendously. It's
18 getting to the point where it's extremely competitive
19 with any other source of generation. And our goals are
20 to help accelerate that same transition into the U.S.

21 And we also look at the distributive wind
22 technologies. I think there's some real opportunities
23 with distributed wind to not only make a more resilient,
24 robust grid. But there's also in small wind space,
25 there's the opportunity to do real economic development

1 in rural America.

2 So if you look at technology trends over time, you
3 know, we started out in the '80s with very small
4 turbines, fifty to a hundred kilowatts. Over time, up to
5 about 2005, there was this continuous growth. But then
6 you start to see land-based wind taper off. The growth
7 kind of slows down. We've continued to innovate,
8 continued to get big, but there's definitely a mean curve
9 there.

10 In offshore wind, the turbines are getting larger
11 and larger. Vestas has a nine and a half megawatt
12 machine for sale today. GE is working on a twelve
13 megawatt machine. And we expect that to continue to
14 grow.

15 This plot comes from the market report from 2017.
16 And part of the information on here that I wanted to
17 point out is the red line is towers, the height of
18 towers. So the height of towers increased, and then it
19 kind of leveled off at just a little over 80 meters. And
20 that's really due to transportation challenges with
21 towers.

22 In order to make a tower cost effective, you need to
23 increase the base diameter. But there's limits on how
24 big of a base diameter you can transport. It's typically
25 around 4.3 meters in the U.S. If you need to go taller,

1 you have to increase the thickness of the steel in the
2 tower. It becomes not cost effective.

3 Rotor blades have continued to increase in size, and
4 it's the blue line there. You know, we keep coming up
5 close to what we think are transportation limits as far
6 as how big a blade we can ship. But the transportation
7 industry has continued to innovate and continues to find
8 solutions to keep transporting blades.

9 We think that's going to become a bigger and bigger
10 challenge unless we do some technology innovations
11 ourselves to help facilitate that.

12 So this graph kind of shows some of the technology
13 development that's taken place over the few years in
14 regards to tall wind. And this includes work both DOE's
15 done and other entities.

16 So DOE's been looking at tall towers since 2002. We
17 started with the Washaws Wind (ph.) is a space frame
18 towers, multi connections. And that technology was
19 actually acquired by GE in 2013 -- I'm sorry, 2011. And
20 GE turned that into a commercial product, but I don't
21 believe they've actually been able to deploy any of those
22 to date.

23 We also funded Native American Technologies to build
24 what they call the Ultra Tower. This was kind of a
25 telescoping-type tower. And again, interesting

1 technologies never made it to commercial deployment.

2 We've done work in big blades. GE worked on a
3 fabric-skinned blade. Keystone Towers has designed a
4 spiral welded tower. Gamesa had a commercial product,
5 segmented blades, that they called the Innoblades. Those
6 are no longer commercially available. Hexcrete Towers,
7 these are towers that are made from modular concrete
8 pieces that can be transported to the site and assembled.

9 We worked on modular blades with Wetzels Engineering.
10 We've also done work in superconducting generators and
11 different hybrids. All of these things are targeted
12 towards, you know, how do we get cost effective tall
13 wind.

14 Currently we have what we call the Big Adaptor Rotor
15 Initiative. This one is very intentionally taking
16 advantage of some of the things that we've learned about
17 wind plant optimization.

18 And one of those things is how you can steer wakes.
19 And it looks like working collaboratively, if we steer a
20 wake from one turbine, you can increase the power
21 production from a wave turbine by up to fifteen percent.
22 It's particularly effective if, instead of yawing the
23 turbine, you could actually pitch it. If you pitch it,
24 you run into blade clearance issues with the tower. But
25 you could entrain flow from above the wind plant into the

1 downwind turbines. So it's got future potential.

2 So part of what we're doing in the Big Adaptor Rotor
3 Initiative is stepping back, looking at turbines to see
4 is a three-bladed upwind turbine the right solution?
5 Maybe it should be a two-bladed turbine. Maybe it should
6 be a downwind turbine.

7 Also we'd like to go to a much bigger rotor size.
8 That allows you to capture more energy, increase capacity
9 factor of a turbine. And if you look here, current
10 technology has been following this trend for some time.
11 Today turbines are down around 200 watts per square
12 meter. They started up around 400 watts per square
13 meter, so almost twice the energy.

14 We're targeting 150 watts per square meter, and if
15 you coupled that with a tall tower, say 140-meter
16 tower -- if you look at the map of the United States,
17 those orange areas, those are areas that are currently
18 places where you cannot get a high enough capacity factor
19 to make wind economical today. And with this low
20 specific power rotor and a tall tower, it opens up the
21 entire southeast of the United States for wind energy
22 development.

23 Now, you can question whether or not a thirty-five
24 percent capacity factor's going to be cost effective in
25 those areas with these new technologies, because the cost

1 of the technology's going to go up. You build a taller
2 tower, you build a bigger blade, it's going to cost more.
3 So you still have to consider the economics of this.

4 Transporting large blades, this is getting to be a
5 real problem, you know. So we recently ran a workshop
6 called the Supersize Blades Workshop, where we were
7 looking at how can you transport up to 115-meter blade
8 over the U.S. railroad network. And we considered
9 several different options.

10 One of the things we looked at was onsite
11 manufacturing. Could you actually just build the blades
12 where you're installing them? We looked at segmented
13 blades. Could you build them in two pieces, transport
14 them where you want them? Modular blades, multiple
15 pieces that get assembled onsite.

16 And I think my colleagues are probably going to talk
17 about this in the next session, so I'm not going to go
18 into too much detail about the findings. But there's
19 some possibilities there that look reasonable, but
20 they're going to require some additional R&D to take
21 place.

22 You know, so we look at tall towers. This is
23 another way to look at it. Going from eighty meters to
24 140 meters opens up a huge amount of area in the United
25 States that potentially could be cost effective.

1 Again, what we're talking about here is achieving a
2 certain capacity factor. There's several different
3 technologies out there that are competing right now. I
4 mentioned the spiral welded towers -- that's an onsite
5 manufacturing use of steel -- the modular concrete.
6 There's also additive manufacturing concrete projects
7 that are underway. And Silvia mentioned one that
8 California is funding itself. DOE is funding a similar
9 project.

10 The areas here, you know, 140 meters has been done
11 today. GE currently has a machine for sale that can go
12 to 160 meters. It's available for sale in Europe. So
13 the technology exists. Again, it all gets back to cost.
14 What's the cost it's going to take to do this and make it
15 cost effective?

16 Our atmospheric to electron program, this is really
17 our one-plant optimization idea. Again, what we're
18 looking at is how do we make the wind turbines talk to
19 one another, increase power production in the entire
20 plant. This includes looking at the atmospheric
21 resource. We have an atmospheric science program, where
22 we're trying to understand what our field really looks
23 like. Taking global weather systems and trying to
24 forecast what the power production per plant would be on
25 a twenty-four-hour basis, ten-hour basis, the half-hour

1 basis. Trying to be able to predict ramps and decays.

2 It also gets into if you're going to model the plant
3 itself, you have to understand the turbulence that's in
4 the atmosphere and scaling the turbulence from the big
5 scale weather models down to what you need to understand
6 for wind plants, a challenge that we haven't solved yet.

7 If you consider -- if you understand what the flow
8 is to the plant, then you can understand what that flow's
9 doing to individual turbines. You can understand what
10 the loads are. You can better design your turbines. You
11 can reduce the margins required to come up with better
12 standards. You can also use the knowledge of what the
13 flow's doing to inform a turbine downwind. So if a
14 turbine upwind sees the wind change, you can tell the
15 turbine behind you, hey, the wind's shifting; you should
16 shift too and be ready for it.

17 See, the last thing that I talked about earlier was
18 steering the wakes, being able to manipulate the wake.
19 So once you understand the flow, you can design the plant
20 better. You might decide that turbines don't all need to
21 be the same height, position, different heights. And you
22 can steer the wake. If a turbine behind says, hey, your
23 wake's impinging on me; tell the upwind turbine to move,
24 by shifting that wake over you can actually increase the
25 power production of both turbines.

1 The opportunity there -- typically, a wake turbine
2 produces about sixty to forty percent of the energy that
3 an unwake turbine produces. So there's a large margin to
4 be had there.

5 Moving to offshore wind, you know, Europe's been
6 very successful with offshore wind. So one of the things
7 that we're interested in doing is leveraging as much of
8 that information as possible. So our intent is to focus
9 on those challenges that are unique to United States.
10 The United States has different subsoil conditions under
11 the ocean. We experience hurricanes, which don't happen
12 in Europe. And much of our resource is in deep water, so
13 those are considerations that we need to take on account.

14 But there's a huge opportunity here. If you look at
15 the chart that's on the right here, that big yellow bar
16 is what we see as the need for additional electricity
17 generation as we go forward in time. Now, not all of
18 this is going to be accounted for by wind energy, either
19 land-based or offshore. But that is the opportunity
20 space for new electrical generation. So there is a lot
21 there. And as I said, the offshore wind is a much
22 steadier resource that tends to have a wind profile that
23 better matches the load distribution. And it's close to
24 the load centers, so we don't require as much new
25 transmission.

1 Our current efforts in the space, we're just
2 launching the Offshore Wind R&D Consortium. There's
3 forty-one million in total funding available for this.
4 NYSERDA is the implementing agent for the Department of
5 Energy. They're administrator of this work. And there's
6 three technology areas that they're going to be
7 concentrating on.

8 The first is wind plant technology advancement. So
9 what are those things that we need in the U.S. to
10 accelerate floating foundations that are going to be
11 necessary for deep water? What kind of controls,
12 electrical subsystems, all the basic technology pieces we
13 need to make wind cost-effective in the U.S.

14 Next area is on resource and site characterization.
15 Again, our subsea structures are a little bit different
16 than what's in Europe. It's expensive to do those
17 surveys, and we don't have a good data set for what the
18 actual winds are offshore. We know the models that we
19 have for weather forecasting don't get the winds right at
20 turbine heights. They do well near the surface, but it's
21 that transition to the boundary layer, to the point that
22 we're interested in, that they're not working well.

23 And last, we're going to be thinking about
24 installation challenges for the U.S. O&M and building
25 supply chain that we need in the U.S. There's something

1 called the Jones Act that requires vessels that come in
2 and out of a port of the U.S. to be U.S. flagged vessels,
3 crewed by U.S. crews. So the U.S. doesn't have these
4 installation vessels that Europe has today, so there's a
5 huge investment cost to come up with those vessels, or we
6 need to come up with different solutions for how we're
7 going to install these turbines.

8 The other project we have is our offshore wind
9 technology demonstration projects. There's two. There's
10 one in the Great Lakes that's trying to demonstrate
11 exsuction buction (ph.) -- excuse me, suction bucket
12 tower technology. Basically, this is a foundation that
13 can be installed and removed without leaving any traces.
14 It literally is what it sounds like. You set it down;
15 you suck the water out of this cup; it embeds itself in
16 the subsea floor. And when you want to remove the
17 turbine, you just pump the air back in, extract the whole
18 thing.

19 The other project we have is a floating foundation
20 with the University of Maine. This technology uses a
21 concrete semisubmersible foundation. Both of these
22 projects are trying to demonstrate innovative
23 technologies in the foundations.

24 Offshore wind plant optimization, you know, this is
25 part of our A2e program. And that optimization is much

1 more critical for offshore because of the way those
2 turbines are typically installed. They're usually
3 installed in a very tight matrix. They try to get the
4 turbines as close together as they can to reduce the
5 balance of (indiscernible) cost. So the waking of those
6 turbines is a bigger concern offshore than it is for the
7 land-based turbines.

8 And, of course, we have to consider wildlife
9 concerns as well. There's right whales that we need to
10 understand how to mitigate the impacts on those when
11 we're installing the foundations, and also understanding
12 what the birds and whatever other species may be out
13 there, what impacts we're going to have on those
14 offshore.

15 Distributed wind -- there's big market potential for
16 distributed wind. Currently, there's just about a
17 gigawatt of distributed wind deployed across the United
18 States. Small wind is a huge exporter. We're the number
19 one exporter in the world for small wind turbines.

20 The emphasis that we have in our program for small
21 wind focuses on a couple of various -- one, small wind is
22 challenged by doing good resource characterization. A
23 lot of small wind turbines get installed in areas that
24 don't perform the way they anticipated. So we're looking
25 at ways to improve the resource forecasting for small

1 wind, which is a much more difficult challenge than it is
2 for utility scale wind.

3 We're also looking at how the small turbines can be
4 more easily integrated into rural co-op electrical
5 distribution systems. You know, the rural co-ops have
6 been working with solar for a number of years. Our solar
7 program has worked with them to establish how they work
8 with that, but small winds not as much. And something
9 you're not familiar with is scary. So what we're trying
10 to do is educate and come up with kind of standardized
11 designs that they can leverage, in order to make it
12 easier for them to integrate those things into their
13 grids.

14 None of this matters if you can't deploy. And so
15 you have to consider what's the impact on our world. So
16 other parts of our program include -- you know, it's
17 citing and environmental research, so better
18 understanding the impacts on birds and bats, other
19 species, and also what are the impacts to things like
20 radar, TV. All of those things are things that people
21 are concerned about.

22 In our radar program, we've been working with
23 several other agencies, including DoD, the FAA, NOAA,
24 Department of Homeland Security. Wind turbines impact
25 our security radars, our weather radars, our air traffic

1 control radars. And so we've been working with these
2 groups to understand what those impacts are and how we
3 can mitigate those. And we've made significant progress.

4 Several years ago, the military had a basic answer
5 of, if you're within a certain distance of a military
6 installation with a radar, you cannot deploy a wind
7 turbine here. The answer was just plain no. Today,
8 those turbines that want to be deployed there are
9 evaluated, and solutions are developed that can
10 potentially permit them to be installed, where ten years
11 ago it wasn't even possible.

12 There's more work to do here. We've been working
13 several different sites. Travis Air Force Base here in
14 California is one of the areas that we've been working
15 on.

16 We also have a bunch of tools and resources that
17 we've developed. And this slide really has links to
18 several of these.

19 The Working Together to Resolve Environmental
20 Effects of Wind Energy is an international collaboration
21 that we're involved with.

22 The WINDEXchange is kind of a resource for people to
23 get fact-based information about wind.

24 The U.S. Wind Turbine Database is something that we
25 just launched earlier this year. This database has

1 geographical information for every turbine installed in
2 the United States. You can go in and get the latitude,
3 the longitude, the heights of the turbine, the make of
4 the turbine. It's all there.

5 The DoD screening tool, again, this gets back to the
6 radar interference. It's a asset for developers to go in
7 and understand if they're going to have an issue trying
8 to put in a wind turbine.

9 We're also doing workforce development. We've got
10 our Wind for Schools program, where we're trying to
11 introduce wind energy to K-12. And hopefully it equips
12 college students for them to understand wind energy.

13 We're also running what we call the Collegiate Wind
14 Competition. This is where teams of college students get
15 together, design wind turbines for specific applications
16 that they've identified. And then they get to do a
17 competition with the other teams, using wind tunnels to
18 assess the performance. They also get to build a
19 business case and present, you know, why their technology
20 is a good solution.

21 What I want to leave you with is there's huge
22 potential for wind energy still in United States. We're
23 not done. There's lots of untapped areas that we can go
24 into, off our coasts, throughout the entire U.S. And
25 it's going to take a mix of technology. It's going to be

1 land-based; it's going to be offshore; it's going to be
2 distributed wind applications.

3 But those barriers that we need to address include,
4 you know, new technologies for wind turbines that are
5 cost-effective for offshore, cost-effective for tall
6 wind. And we've really got to drive the cost down.

7 I didn't speak to the grid much today, but that's
8 another area that we have to understand, right? We can't
9 be bad citizens on the grid. So we need to come up with
10 ways to integrate with other renewable technologies, with
11 storage, improve our capacity factor so that we can
12 reduce requirements for spending reserves, and, last but
13 by no means least, mitigation of any environmental
14 impacts and human use concerns. Those are fundamental.
15 As I said, if you can't deploy, it doesn't matter what we
16 do in any of these other areas.

17 And with that, I'll conclude. Thank you very much.

18 **MR. ALDAS:** Thank you, Michael.

19 I guess while we're transitioning to the first
20 panel, I would like to see if we have one or two
21 question, at the most, in the room for Michael?

22 (No audible response)

23 **MR. ALDAS:** No? If no question, then -- well, thank
24 you.

25 **MR. DERBY:** All right. Thank you.

1 **MR. ALDAS:** Appreciate that.

2 Well, at this point, I would like to call our
3 moderator for the first panel. We're fortunate to have
4 Professor Case van Dam to moderate the first panel, and
5 I'd like him to call and introduce the panelists. Thank
6 you.

7 **FEMALE SPEAKER:** (Indiscernible).

8 **MALE SPEAKER:** (Indiscernible).

9 **FEMALE SPEAKER:** (Indiscernible).

10 **MALE SPEAKER:** (Indiscernible).

11 **MR. VAN DAM:** First or second? Okay.

12 **FEMALE SPEAKER:** (Indiscernible).

13 **MR. VAN DAM:** Okay. Okay. I'll get this.

14 **FEMALE SPEAKER:** Maybe if we can (indiscernible).

15 **MR. VAN DAM:** Yeah. Okay.

16 **FEMALE SPEAKER:** I'll start it. Are you
17 (indiscernible).

18 **MR. VAN DAM:** Uh-oh. Can I get up there with this?
19 Okay. Thank you.

20 Welcome, everybody. My name is Case van Dam. I'm a
21 faculty member at UC Davis and a longtime interest and
22 researcher in wind energy. So it is my pleasure to
23 moderate this panel discussion this afternoon. I think
24 we have about an hour for that. And then I have, at the
25 end of this, some time for some questions.

1 And we have four terrific panelists, people from
2 academia, national labs, and as well as some industry.
3 So let me introduce the four panelists, and then I'll get
4 started with the questions.

5 So the first -- the first person I would like to
6 introduce is Mo Li. She's a faculty member in the
7 Department of Civil Environmental Engineering at UC,
8 Irvine. And she has also joint appointments in the
9 Department of Chemical Engineering and Material Science
10 at UC, Irvine. Her expertise is in advanced construction
11 materials and structures and additive manufacturing
12 methods. She directs state-of-the-art infrastructure
13 materials research in advanced manufacturing laboratory
14 at UCI, and is an active user of the structural
15 engineering testing hall there. She also works on
16 developing innovative concrete technologies, advanced
17 manufacturing and monitoring methods for energy-related
18 applications. And she will comment on some of that, her
19 thoughts on that today.

20 The second person I'd like to introduce is Jason
21 Cotrell, and he is the founder and CEO of a startup
22 company, RCAM Technologies. Before that, Jason worked
23 twenty-two years at NREL in Golden, Colorado, where he
24 was a senior engineer and manager in the wind turbine
25 technology innovation group. Jason's primary

1 responsibilities at NREL included activities in gearbox
2 and generator research, and testing advanced controls,
3 distributed wind turbines, and manufacturing supply-chain
4 issues.

5 Third person there on the panel is Walt Musial, and
6 he's a principal engineer and a manager of Offshore Winds
7 (sic) at the National Renewable Energy Lab, where he has
8 worked for thirty years. And his contributions,
9 especially in Offshore Wind, are greatly appreciated. He
10 really has been one of the mainstays there in that area.
11 In 2003 he initiated to this, the Offshore Wind energy
12 research program at NREL, which he has left since then.
13 Walt also developed and ran National -- NREL's full-scale
14 blade and drivetrain testing facilities for fifteen
15 years. And before that, he spent five years in the
16 commercial wind-energy industry in California.

17 And last but not least, I'd like to introduce Kevin
18 Smith. He's the director at DNV GL, the wind and solar
19 operating asset services. He is responsible for leading
20 DNV GL's advisory services that support asset management
21 and operation phase of renewable energy projects. His
22 team provides turbine engineering, inspections, operating
23 data analysis, SCADA, asset organization (ph.), and power
24 forecasting services.

25 It is really -- it's great to have these four folks

1 here today, kind of giving their thoughts, ideas, inputs
2 on some of these questions. And I think these questions
3 kind of address a broad range of opportunities and
4 hurdles that I think we face in wind energy, especially
5 focused on California.

6 So with that, let's get -- maybe let's get started.
7 And that is the first question. I think the questions
8 are there --

9 **FEMALE SPEAKER:** Yeah.

10 **MR. VAN DAM:** -- too?

11 **MALE SPEAKER:** Yeah.

12 **MR. VAN DAM:** Okay. All right. Though there are
13 neither new or existing wind turbine manufacturing
14 facilities located in California -- and I think Mike
15 Derby brought up the 2017 Wind Technologies Market Report
16 by Ryan Wiser and Mark Bolinger earlier. And that
17 actually -- I really want to make a plug for that annual
18 report. It provides an terrific update on the state of
19 the art, but also provides a very nice historical
20 perspective. So anybody's interested in wind, I highly
21 recommend looking up that report and spending an evening
22 reading that.

23 And there in that report, you find there's no
24 manufacturing facilities located in California, not much
25 on the entire, I think, west of Colorado, actually.

1 There's not much listed there.

2 So how critical is it, and are the opportunities
3 for -- are there opportunities for advanced manufacturing
4 technologies in California? How can the evolution in
5 next-generation wind energy technologies support the
6 advancement of manufacturing in the state? So that is --
7 I think is a very important question. And like maybe to
8 start, maybe -- Jason Cotrell to maybe start out to maybe
9 commenting on that, and then the other panel members can
10 join in.

11 So I think, Jason, you have prepared some, I
12 think --

13 **FEMALE SPEAKER:** (Indiscernible) --

14 **MR. VAN DAM:** He --

15 **FEMALE SPEAKER:** -- thing change.

16 **MR. VAN DAM:** (Indiscernible).

17 **MR. COTRELL:** How does this work?

18 **FEMALE SPEAKER:** (Indiscernible).

19 **MR. COTRELL:** Okay.

20 **FEMALE SPEAKER:** (Indiscernible).

21 **MR. VAN DAM:** There --

22 **FEMALE SPEAKER:** (Indiscernible).

23 **MR. VAN DAM:** I can otherwise run up to -- let's
24 see.

25 **MR. COTRELL:** So this is a laser pointer?

1 **MALE SPEAKER:** It's for weather.

2 **FEMALE SPEAKER:** No, no. This is --

3 **MR. COTRELL:** Oh.

4 **FEMALE SPEAKER:** -- (indiscernible) change.

5 **MR. COTRELL:** Okay.

6 **FEMALE SPEAKER:** And these are in case the people
7 don't catch --

8 **MR. COTRELL:** So I don't need that one?

9 **FEMALE SPEAKER:** No. No, you need that because when
10 you (indiscernible) touch the --

11 **MR. COTRELL:** Okay. The microphone for Webex?

12 **FEMALE SPEAKER:** Yeah.

13 **MR. COTRELL:** Okay. Okay. But I should talk into
14 this then?

15 **FEMALE SPEAKER:** Yes, for the (indiscernible).

16 **MR. COTRELL:** Can you hear me?

17 **FEMALE SPEAKER:** Yes.

18 **FEMALE SPEAKER:** Yes.

19 **MR. COTRELL:** Okay. And it's loud enough?

20 (No audible response)

21 **MR. COTRELL:** Okay. So I've put some thought and
22 queried some of my colleagues about actually both of the
23 questions, question number 1 and question number 2. And
24 the questions have changed a little bit. This was an
25 earlier draft of the questions, but they're essentially

1 the same.

2 And the first question -- actually, the questions
3 have been updated here. You know, the key there is the
4 question is basically stating that there are few, if any,
5 wind turbine manufacturers in California. This came from
6 the DOE-funded market study, 2017. In fact, if you look
7 at that report, there are only three wind turbine
8 component or manufacturers west of Denver. Then there's
9 a clump in Denver, and a clump of -- clump in Texas. So
10 is that a problem or not? My initial response is that's
11 a very large missed opportunity, because every gigawatt
12 of wind turbines is worth about a billion dollars of
13 capital investment. So it's a missed opportunity.

14 And so let's see. So maybe we should go to the next
15 slide.

16 **FEMALE SPEAKER:** You --

17 **MR. COTRELL:** Oh, and that's me.

18 **FEMALE SPEAKER:** Yeah.

19 **MR. COTRELL:** Sorry. Oh, now I'm probably going
20 backwards. No?

21 **FEMALE SPEAKER:** Oh, the other one. The other one.

22 **MR. COTRELL:** This one?

23 **FEMALE SPEAKER:** Yeah.

24 **MR. COTRELL:** Okay.

25 **FEMALE SPEAKER:** Big one, yeah. That one.

1 **MR. COTRELL:** Okay. So it is a missed opportunity.
2 And then there's a second maybe data point or observation
3 that indicates that it is indeed a problem, because last
4 year California, according to the -- I think it's the
5 2017 market report again, installed only 50 megawatts of
6 new turbines. That's about twenty-five or less modern
7 turbines in 2017 in new capacity. Not sure if that
8 includes repowering. But to put it in perspective, if
9 you look at that same data, Texas installed 2,300
10 megawatts. And pretty sure California's economy is
11 bigger than Texas. So it shows what can be done.

12 So I would consider it a problem. And that's in
13 light of wind turbine prices being at all-time lows. So
14 something is not working. And I believe we can affect
15 that problem.

16 So this first slide here -- and I'll try to make
17 this as fast as possible, because I know we're time-
18 constrained. But it shows maybe the state of the art of
19 turbines that were just announced by GE within the last
20 month. It's a five-megawatt class turbine. It has 78-
21 meter-long blades in two pieces, 160-meter-tall concrete
22 tower. Along with that, you're going to need a
23 foundation that's going to require at least a hundred
24 concrete trucks worth of concrete.

25 They don't sell that in the U.S., and I don't know

1 if they will sell that. And it goes back to Mike Derby's
2 concept, since it is a more expensive machines in a lot
3 of cases. In fact, that tower is a one-and-a-half-
4 million-dollar tower, and it costs almost, if not more
5 than, the entire rotor on the top of the machine. So the
6 tower is a very expensive portion.

7 In addition, the wind turbine manufacturer or the
8 tower manufacturer doesn't even exist, or they don't sell
9 into the U.S. market. It's a German manufacturer of that
10 tower.

11 That brings along with it a number of other problems
12 if you want to try and take advantage of a machine like
13 that. And in the lower left-hand corner, you can see the
14 cranes. That's how they would install the nacelle head
15 on a machine like that. We don't necessarily have those
16 specific cranes in the U.S. And any other cranes -- I
17 was told there's about five of them, by some -- by a
18 gentleman at a construction firm.

19 So right now we can't install those here, at least
20 in a cost-effective manner. And so I think what I should
21 have pointed out at the beginning, I am one of the
22 recipients of a previous EPIC award to develop concrete
23 printing solutions, 3D printing with concrete, for the
24 tower. So I wanted to make sure -- want to make sure
25 that folks were aware of that.

1 So -- oh, that's the wrong computer. Here we go.

2 **FEMALE SPEAKER:** Yeah.

3 **MR. COTRELL:** So the question becomes, well, does a
4 tower like that -- does a machine like that make sense in
5 California? And there's data provided by the National
6 Renewable Energy Labs, funded by DOE, that indicates
7 there is. And that's this data on the left-hand side.
8 And I won't spend much time on it, other than it's --
9 than kind of cutting to the chase and saying the current
10 technology is this black technology, this black line on
11 the bottom. And if these new turbines start to be
12 installed into California, these land areas on the left-
13 hand graph are what become possible for every particular
14 capacity factor.

15 And the bottom line is that you can increase the
16 land -- deployable land with sufficient capacity factor,
17 the availability of that, to -- by about a factor of
18 twenty times. And that's with this 140-meter-tall near-
19 future turbine. You might be able to double that again
20 with a five-megawatt turbine. So there's clearly an
21 opportunity there.

22 But along with that comes some substantial problems
23 in terms of how do you get the tower there, how do you
24 build it, those sort of issues.

25 In addition to the economic benefits from those wind

1 installations, there's also operations and maintenance
2 installations. And that's what's represented in the
3 right-hand corner, which is a whole another source of
4 revenue. So there's near-term job potential, near-term
5 economic development, and long-term for the life of the
6 turbine, which is probably twenty to twenty-five years.
7 But we can't get there yet.

8 So I just have -- maybe I should pause there,
9 because the next slide gets into the next question, which
10 is how do we -- gets into site-specific design. So let
11 me pause there.

12 **MR. VAN DAM:** Okay. So any -- maybe Kevin or any
13 additional comments?

14 **MR. SMITH:** That was a good presentation, Jason.
15 Thank you.

16 I think for manufacturing in California, we've
17 been -- my company's been working with studying
18 supersized blades, so the next generation of blades that
19 are magnified to 115 meters, as Michael mentioned
20 earlier.

21 And one of the interesting logistic things that you
22 talked about, Jason, is moving these large blades around
23 becomes a big challenge. And if you looked at a map of
24 the U.S. where the blade manufacturing is, it's in right
25 down the center of the U.S., and that's right where all

1 the deployment of wind is in the nation. So I think
2 California has an opportunity to put manufacturing in
3 this state for really large, large blades that I would
4 say serve the offshore market, because that's where those
5 blades are extremely valuable and needed for offshore
6 wind.

7 But those same size blades could also be deployed on
8 land, so that those same factories could also be
9 servicing super-large turbines that -- what Michael Derby
10 was talking about, with the really large rotor, tall
11 tower, so you can do two things at once. But the trick
12 there is needing -- these are large objects to move
13 around the state of California. And you can also serve
14 basically the western half of the country because, let's
15 face it, the Rocky Mountains are a pretty big obstacle to
16 move really large objects over and through. So that's an
17 impediment that we noticed with these large blades is
18 that you -- kind of moving them over the Rockies is going
19 to be a trick.

20 So I think that for focusing on manufacturing, like
21 why you need more -- what's the opportunity for
22 manufacturing in California? The tall towers is a clear
23 area to get access to the taller, higher wind resource
24 that's available. And I think whoever can try to figure
25 out a blade manufacturing facility on the West Coast of

1 the U.S. will have some valuable onshore and offshore.

2 I think, given the recent announcements and -- well,
3 you can basically walk us -- and speak to this too, but
4 off -- floating offshore, offshore off the coast of
5 California, seems to be the real, real ripe spot to spur
6 that economic development that you were mentioning.

7 **MR. VAN DAM:** Walt, maybe? Any thoughts on this,
8 yeah?

9 **MR. MUSIAL:** Sure. Would you like me to --

10 **MR. VAN DAM:** Yeah.

11 **MR. MUSIAL:** -- just --

12 **MR. VAN DAM:** Yeah.

13 **MR. MUSIAL:** -- do a -- so good afternoon. So I'm
14 Walt Musial. My focus is really on the offshore wind
15 questions. And just if you haven't been following this
16 as closely as I have, California has recently gained
17 interest in this area because of a lot of -- lot because
18 of the policies, but because recognizing a trajectory
19 toward zero carbon. Offshore wind provides a significant
20 resource, and the question is how significant is that
21 going to be and what's the time line or trajectories of
22 introducing that technology?

23 So we've seen two to three years -- in the last two
24 to three years, we've seen a lot of interest increasing.
25 The government formed a taskforce. And just, I think, in

1 the -- within the last week, the Bureau of Ocean Energy
2 Management announced three call areas in California,
3 which should really be embryonic beginnings of what they
4 would consider lease areas. And so this is a -- this is
5 a technology and a industry that's moving right now in
6 California, so it's a really good time to be addressing
7 this question of, you know, what can California do to
8 intersect with the momentum that's happening right now.

9 And I can tell you that Europe is on this right now.
10 They've just kind of transitioned, I think, from strictly
11 a fixed-bottom focus, you know, where they have a lot of
12 shallow water in the North Sea, and they've deployed over
13 16,000 megawatts of offshore wind. Now there's a big
14 push to develop this technology.

15 And so question that's, you know, becoming apparent
16 is when the developers who claim they can commercialize
17 this technology in California, somewhere in the 2025/2026
18 time frame, when that -- when these projects begin to
19 arrive, you know, what will the local content be, and
20 what will the role of California be? Is its technology
21 going to be delivered as an export market for the
22 Europeans, or can -- how can California get involved in
23 that? And I think that's the question that I want to try
24 to help you answer.

25 And I'm not -- of course, I'm kind of learning as I

1 go, as well, but I think there's a lot of -- I kind of
2 divide this into two areas, the technology questions and
3 then kind of the siting and supply chain infrastructure
4 questions that are necessary. And I think
5 technologically there's going to have to be some
6 differences between the technology that gets deployed in
7 Europe and in California, because of water ducts, and
8 maybe certain interactions with species, and perhaps
9 the -- just the way the grid is structured here. So I
10 think those need to be considered.

11 In particular, I'm thinking about systems to address
12 deep water moorings. And those are technology questions
13 that probably haven't been adequately addressed at a
14 really deep level.

15 Keeping in mind that this whole -- what we're
16 observing right now is a dynamic industry. Turbines are
17 growing in size. So whatever changes that are made or
18 investments that are made to the infrastructure need to
19 anticipate that growth, so that what will the technology
20 look like not now, but what will it look like in 2025 or
21 2030 when this industry really kind of hits this state
22 and becomes something that the state is and needs to
23 participate in, in order for it to be successful? So I
24 think that that's something we need to look at.

25 There's some of the questions that may get answered

1 globally, and I'm thinking plat -- the scaling of a
2 floating platform, and what's it going to be made of? It
3 would help if the materials that those platforms are made
4 of were indigenous and could be accessed and fabricated
5 here in the state. That requires some knowledge of the
6 technology and then an investment in the infrastructure,
7 because they're big. These are big parts that need to be
8 put together and assembled.

9 And, frankly, optimally the technology needs to be
10 integrated with the infrastructure. It can't be
11 separated really, especially at the sizes that they're
12 going to right now. So the ports and infrastructures
13 have to be designed for the parts that are going to be
14 built. So getting on that wagon has to be done, I think,
15 now versus when the first projects start getting put in.

16 So from a siting and an infrastructure standpoint --
17 it's been said, I think, earlier, the resource and what
18 we considered a resource assessment is -- was good to
19 understand the average windspeeds and the average,
20 perhaps, energy output of the capacity of the resource
21 area. But when we get into grid value and resource
22 adequacy, integration with other renewables, like the
23 duck curve that everybody's probably familiar with, you
24 need to have more high-resolution resource data in order
25 to understand if you can deal with the ramp rates, and

1 deal with the seasonal, and, frankly, the hourly
2 variations that come with that.

3 And the data that we have is -- hasn't been fully
4 validated. There needs to be measurements made, at least
5 a few places so that we can anchor the resource
6 assessments that have been done to what's been -- what
7 we're going to need to do.

8 And then dealing with -- on my list, one of the
9 things I think is -- that's important is understanding
10 the sea states that are in the Pacific. The sea states
11 are higher. The wave climates are -- it's higher than in
12 the Atlantic. So the experience from the Atlantic is not
13 going to transfer to the Pacific. It's something that
14 has to be done here and/or, I think, to some extent, to
15 leverage what's happening in Europe. So higher -- just
16 innovations on high sea state crew transfers, for once
17 the turbines get built, to install them, to lay the
18 cables, to repair them.

19 And then look -- just looking at detailed studies of
20 the ports and facilities that are already here and what's
21 going to be needed to upgrade them, to make them
22 accessible for the manufacturing and for the pre-
23 commissioning of the turbines before they go out.

24 So I'll stop there.

25 **MR. VAN DAM:** Yeah. Clearly, lots of opportunities

1 and, at this point, lots of hurdles as well.

2 So that gets us to question 2, kind of -- it kind of
3 ties into that. What are the research needs to enable
4 on-site manufacturing or hybrid solutions for wind energy
5 technologies? What are the main on-site manufacturing
6 challenges in California, and what are needed to address
7 those challenges?

8 And maybe, Jason, I think you had some ideas for
9 that, so let me come to your slide.

10 **MALE SPEAKER:** The areas that --

11 **FEMALE SPEAKER:** (Indiscernible).

12 **MR. COTRELL:** Yeah, so this is when I queried about
13 ten colleagues, each with ten to thirty years of
14 experience, and said, you know, what really should we be
15 doing in California? And I got about five responses
16 back. And in true engineering style, they all came back
17 with more questions than I asked. I asked two, and they
18 came back with seven. And so, I mean, we can go through
19 the questions. You know, the first ones probably will
20 help. Let's go through just a couple.

21 You know, they wanted to know, well, what is the
22 actual deployment potential for large turbines? Yes, the
23 NREL-derived data shows it's quite substantial, but, you
24 know, that was a very high-level study. It was an
25 average type result. You know, and how much would it

1 really cost, you know, in California? We have estimates.
2 We have general estimates with brackets, but how much
3 would it cost in California?

4 So I -- and then the third one, let me -- that's a
5 very important one. This is a similar theme as what
6 you're hearing from Walt and Offshore is what are the
7 actual wind shears, because these tall towers make the
8 most sense when the wind shears are large and positive.
9 We know in some regions in California they're not large
10 and positive. Some regions they can be negative during
11 parts of the day. But it varies. That's the point.

12 So there's a general theme here, in that, in
13 general, one of the things we need to do -- and this gets
14 to the next slide -- is have a much better understanding
15 of how these technologies fit specifically in California,
16 because, in many ways, California is not like the rest of
17 the country, in terms of geography, and deployment
18 barriers, and so on.

19 And so that made me think that that need for
20 understanding, much better understanding than these high-
21 level studies that we presently have, made me think back
22 to some of the most impactful works that I have seen DOE
23 do in my career, and that I still use today. So for
24 example, this study on the left, there's whole theories
25 of these WindPACT studies.

1 And one of them, coincidentally, happens to be
2 authored by Kevin Smith, who's sitting here. So although
3 I don't use that study still today, some of the other
4 ones are still used. That study is twenty years old, but
5 has, you know, had a life of about probably ten or
6 fifteen years. And that basically looked at the
7 logistics of transporting and installing large turbines,
8 back when a one-and-a-half-megawatt turbine was a big
9 machine.

10 So a study like that -- but the problem with a study
11 like that, even if it were updated, is it's not
12 necessarily specific to California. They will pick a
13 site. I think maybe they picked -- I don't know --
14 somewhere in the Midwest or North Dakota. I was going to
15 say North Dakota. There's a big difference between North
16 Dakota and California, for sure.

17 And then the one on the right is actually an
18 offshore wind study, performed by University of Delaware
19 five years ago. And basically, what they did is they
20 looked at how they could -- we call it industrializing
21 offshore wind. They picked a abandoned port in Delaware,
22 and they did detailed studies about, well, if we change
23 the process, how much levelized cost of energy reduction
24 would we see? And they saw quite substantial, you know,
25 between five and thirty percent type numbers.

1 But the key there is in both of these, everything is
2 tied to logistics, which makes it regionally very
3 specific. And so the -- there's a whole bunch of topics
4 listed on the right-hand side that we could go through,
5 some of the same ones that you saw previously with wind
6 resource assessment, a large wind workshop. Actually, I
7 would -- this is an important point. I would actually --
8 originally had a tall tower workshop, something I've been
9 looking for for a very long time. But I wrote large wind
10 because I was trying to be maybe more fair and not
11 biased, since I work in tall towers.

12 But the one thing I wanted to point out that I'm
13 very excited about is that DOE has this big, adaptive
14 rotor project ongoing. So I feel like DOE has the rotors
15 covered. There's certainly things California can do.
16 And one of those things that California can do is take
17 the results from those studies and apply them in
18 California with very specific data. So pick a port,
19 whether it's Long Beach port or some other port, Humboldt
20 County, and actually take those data, perform the
21 logistics models, and come up with the cost specific to
22 California.

23 And that might -- you know, as a first step, you
24 would want to have some sort of workshop. Right now,
25 that workshop doesn't exist in the United States. And if

1 California -- if there's indeed a market for that, it's a
2 great place to have it.

3 The next bullet, and I kind of prioritized these as
4 terms of my wish list, but open-source reference
5 turbines. So presently a five-megawatt 150-meter rotor
6 turbine, reference turbine, doesn't exist in the U.S.
7 There's three megawatt we can draw off of. But if you
8 had one, and you said, okay, well, we're going to install
9 that at these promising locations, whether they're
10 repowering other locations, a valley in California, if
11 that makes sense, and came up with the actual cost, I
12 think that would be tremendously important to smaller
13 companies, universities, but most importantly, investors,
14 because once you can prove that there's a market and that
15 those -- that is a promising solution for California,
16 then the rest of the dollars, commercialization dollars,
17 flow.

18 So I'll pause it. I'll stop there.

19 **MR. VAN DAM:** Kevin, because your name was
20 mentioned, any --

21 **MR. SMITH:** Thank you, Jason. There was no --
22 there's --

23 **FEMALE SPEAKER:** Yeah.

24 **MR. SMITH:** Appreciate the recognition there. But I
25 think also the recognition goes back to the original DOE

1 and NREL for having the vision to do studies that are
2 far-reaching and looking forward, at the time when, you
3 know, the industry really was -- has a lot of -- had a
4 lot of challenges ahead of it. So I think that I want to
5 echo what you said, Jason, was about, like, having more
6 California-specific analysis of the situation here is
7 then going to be much more valuable to try to help
8 decision makers and local jurisdictions have a good
9 understanding of what the opportunity is, to then figure
10 out where they want to start putting their efforts in,
11 because I think there is a lack of awareness still on
12 what the wind conditions are, what the infrastructure can
13 handle in terms of moving large objects, like, say, the
14 rail infrastructure, and the road infrastructure, and
15 things like that.

16 And then you throw in this burgeoning offshore, you
17 know, wind opportunity out there. And that's a huge
18 space that can -- needs a lot of attention and study. So
19 I think that type of research that the CEC can at least
20 foster, that's really specific into the opportunities and
21 the challenges for this state, is -- should be a real
22 centerpiece.

23 The on-site manufacturing question, I want to take
24 us back to that because that's an interesting topic. And
25 it's ripe for conversation right now because the scale of

1 the towers and the scale of the blades -- primarily,
2 let's -- we'll just focus on towers and blades because
3 the rest of the drivetrain is largely, relatively compact
4 and you can move those on the ground with rail, and
5 truck, and things like that.

6 So -- but just the blades and the towers are an area
7 that on-site manufacturing really -- there is no parallel
8 to on-site manufacturing of a wind turbine blade today.
9 I think that, at least in tower world, you can look at
10 concrete batch plants and concrete, you know, pours and
11 things like that, that you can see parallels between how
12 you can do an on-site manufacturing of a -- like, a 3D-
13 printed tower element that then could be assembled into a
14 tall tower. Like, that -- the material science and that
15 technology, it's out there. It still needs effort, and
16 research, and to come to fruition.

17 But on the blade side, blades are really unique
18 objects and structures. And they are really large, but
19 they're also incredibly lightweight for their size.
20 They're complex internally. I don't think you really can
21 appreciate the different layers and the fibers and the
22 orientation of all the internal components that get put
23 into a blade, because it's all hidden from you on the
24 outside. It just looks like a white -- a white wing.
25 But they're very complex internally, and so it takes a

1 lot of control, takes a lot of quality processes. It
2 takes -- ironically, it's a lot of people just physically
3 moving fabric, if you will, into a blade mold. Like,
4 it's a manual process, but it's incredible how efficient
5 humans are at moving a large amount of material into a
6 blade mold.

7 And so any time you start looking at on-site
8 manufacturing, especially for blades, I think we -- in
9 recent work, we think you have to -- it does need more
10 study. It's a big question about whether you can be
11 efficient, cost-competitive with a blade manufactured on
12 site versus a blade that is manufactured off-site and
13 transported.

14 There are three key parameters of the -- of on-site
15 manufacturing that you have to kind of work on. It's the
16 stiffness of the material; it's the resins; and it's the
17 materials that go into the blade, so how stiff can that
18 be, especially if you're trying to do additive
19 manufacturing, or printing, or using some type of
20 injection, resins, and things like that. That does not
21 exist right now at any scale that is necessary to produce
22 blades as fast as the wind industry needs blades
23 produced.

24 So you -- it takes R&D into the material science, on
25 the materials that go into that type of blade, and it

1 would need R&D on the equipment, the machines themselves,
2 the extruders, the tape-laying machines, and everything
3 else, to be able to apply the material as fast as it can,
4 orders of magnitude faster than what current 3D-printing
5 machines can do. The current technology is interesting,
6 but it's so far from the production rates that are needed
7 to make big blades within a -- basically, a twenty-four-
8 hour mold cycle.

9 And then the third element that on-site
10 manufacturing has to balance is the actual cost, the
11 finished cost out of that entire process. So, you know,
12 moving -- if you have a mobile blade factory, blade
13 factories are very effective when they can work 24/7, 365
14 days a year. If you're going to move a blade factory
15 around from site to site to site, you're going to spend a
16 lot of time with that factory not in production. And
17 when it's not in production, your utilization plummets,
18 and then your costs go extremely high for the equipment
19 that you've just invested in.

20 So there's the stiffness of the material. The
21 material science has to come together, the production
22 rate of the equipment has to come into play, and the
23 combination of all of the labor cost and the cost of the
24 finished blade have to come together to make on-site
25 manufacturing even kind of in the conversation.

1 At the same time, you need to go back to logistics,
2 because at the same time you're trying to advance
3 technologies to make blades on-site, you have to ask
4 yourself, well, can I still just move them? And there
5 are really still a lot of innovations in the
6 transportation world that still have yet to be kind of
7 really realized, that you're going to have to know what
8 that landscape looks like. So studying the
9 transportation side, as long as -- as well as studying
10 the on-site manufacturing need to go hand-in-hand because
11 they're in competition with each other.

12 So there are airships. Lockheed Martin in this
13 state is -- has developed and will be deploying large
14 cargo airships. They're in certification now with FAA.
15 I'm not paid by Lockheed Martin to mention this, but they
16 have machines on the drawing boards that can move blades
17 that are 115 meters long without a problem because the
18 blades are so light.

19 So you need to -- my guidance is you need to look
20 hard at the transportation and logistics world, because
21 that might upset the applecart if you invest all your
22 money into some other on-site manufacturing or something
23 like that. You have to look at both worlds the same time
24 and keep pushing on both, so --

25 **MR. VAN DAM:** So to be sure that we stay on time, so

1 let's move on to the question number 3. And we
2 already -- some of us already alluded to -- so what are
3 the research needs, for instance, in the area of material
4 science, to make the next generation of wind energy
5 technologies, such as super-size blades and concrete or
6 hybrid wind towers, feasible?

7 And I think maybe, Walt, you want to take a first
8 stab at it? Yeah?

9 **MR. MUSIAL:** I could. I think I might have touched
10 on that, but I think --

11 **MR. VAN DAM:** Okay.

12 **MR. MUSIAL:** -- that might belong to someone else,
13 if you want to --

14 **MR. SMITH:** I have a -- I had a couple thoughts.

15 **MR. VAN DAM:** Okay.

16 **MR. SMITH:** Just to the --

17 **MR. VAN DAM:** Yeah, go ahead, yeah.

18 **MR. SMITH:** Sorry. I'll go quick, and then we can
19 listen to someone else talk too.

20 But the science seems to be telling us longer and
21 slender blades that you can -- that you can spin as --
22 the faster you can spin them through the air, you can
23 make your blades longer and slender is very effective.
24 It's an effective design, and it actually has some
25 advantages for transportation, lightweight and other

1 things.

2 The challenge with a long, slender blade is how do
3 you keep those loads in control? But in the material
4 science side, there's a world of thermal -- so you need
5 materials that are high in stiffness, so -- but have
6 relatively low weight, so fibrous materials. They need
7 to be high enough in stiffness. They don't have to be
8 extremely super-strong, special aerospace-type grade
9 fibers. But right now, thermoplastics would be really
10 interesting material, but it -- the stiffness is really
11 not there right now. So -- but they might have some
12 interesting other properties in terms of field
13 repairability. You may be able to put them into more of
14 a additive manufacturing process than other types of
15 material.

16 So I think the R&D, the laboratories and the
17 universities in California, I would think, would have a
18 good material science group that would be looking at
19 resins, and fibrous thermoplastics, and thermosets that
20 are high in fatigue, high stiffness, low cost. So that's
21 the trick. I think people can find really strong fibers,
22 but making them low cost for the wind industry is really
23 the trick. So --

24 **MR. VAN DAM:** Mo, you -- you want to --

25 **MS. LI:** Yeah. I agree with what you just said, in

1 terms of the materials for wind turbine structures. I
2 can see the future research is going to the direction of
3 higher performance, like stiff -- higher stiffness,
4 higher durability, more damage tolerance, and also lower
5 environmental impacts because next question is related to
6 environmental impact, especially when the wind turbines,
7 there will be more and more of them. And there has been
8 a lot in the past. Some of them, probably most of them
9 in the past, have reached the end of their life. How do
10 we deal with them and the environmental impact when the
11 whole market is growing larger, and we have to think
12 about that.

13 So a third one would be can we come up with newer
14 material innovations to accommodate advanced
15 manufacturing methods? If you want to do modular
16 construction, we need to think about how do we connect
17 those modules using, probably, stronger materials, more
18 durable materials. And you would talk about on-site
19 manufacturing, like additive manufacturing, how do we
20 design the materials, for example, 3D printing concrete,
21 that can really work with this process, that will be very
22 different from a normally constructed concrete that you
23 have, a form where you have sufficient curing time but
24 you now are talking about using a robot handling the
25 concrete. Probably we don't give it much curing.

1 There's no form work. Then the concrete should be
2 totally different from the concrete before.

3 So with that three major topics in mind, you could
4 look at turbine structure. We have three major parts.
5 We have the turbine blade, and we have the tower, and we
6 have the foundation.

7 For the turbine blades, currently people are using
8 carbon fiber reinforced plastic or glass fiber reinforced
9 plastics. And how do we make those materials better to
10 achieve the three major goals?

11 Now, in terms of towers, right now most of the
12 towers are using steel. But we are going to bigger
13 turbine blades and taller towers. The steel towers need
14 to increase the diameters, and they might not be cost-
15 effective. So should we look into high-performance
16 concrete with reinforcement to replace -- I mean, to be
17 alternative, cost-effective alternative, of steel towers?
18 And can we use conventional concrete, or should we
19 pursue, like, ultra-high performance, higher durability
20 concrete, higher-strength concrete? How would that
21 influence reinforcement design? Can we use fiber-
22 reinforced concrete? I think those are all very
23 interesting research questions to look into in the
24 future.

25 Now, in terms of foundation, we are mostly using

1 concrete, right? So how do we improve the performance of
2 the foundation? How can we do additive manufacturing of
3 foundation using 3D printing concrete? Can we make the
4 concrete foundation more durable and without having to
5 worry about damage, especially for offshore structures?
6 And these are the thoughts I have.

7 **MR. VAN DAM:** Fatigue. Concrete fatigue.

8 **MS. LI:** Fatigue, right. Cracking.

9 **MALE SPEAKER:** Cracking.

10 **MS. LI:** Because concrete is a brittle material,
11 cracking is a issue.

12 **MR. VAN DAM:** And go ahead, Walt, yeah.

13 **MR. MUSIAL:** You know, and I'll just add on the
14 offshore side, when we look at the development of
15 offshore substructures, this is a very likely component
16 that could be locally manufactured. And the fabrication,
17 currently, of most substructures are -- is steel, and --
18 but steel is very subject to corrosion.

19 **MS. LI:** Um-hum.

20 **MR. MUSIAL:** And we're worried about that because
21 it's a long-term O&M topic. And I think there's been
22 several examples of concrete substructures that are on
23 the drawing boards now or have been demonstrated. And
24 that's an area that could be maybe localized a little bit
25 more. It's something that I think is worth looking into,

1 at least.

2 **MS. LI:** Um-hum.

3 **MR. COTRELL:** Could I --

4 **MR. VAN DAM:** Yeah, yeah. Go ahead, Jason.

5 **MR. COTRELL:** So one thing, one very important
6 global effect that we're witnessing is the effects of
7 automation on manufacturing. And especially here in
8 California, I think, you have -- at least in Southern
9 California there's some -- there's quite a bit of
10 robotics being used. There's robotic manufacturers and
11 just a lot of software that goes into that robotics,
12 which is another California specialty.

13 The importance of automation, you know, can extend
14 through the wind turbine supply chain. At least in our
15 case, what we're doing is effectively using automation
16 with a very low-cost material, so we're effectively using
17 robots to apply concrete in ways that you normally -- you
18 can't do with traditional methods. And that combination
19 of relatively low labor but 24/7 operation, like you
20 heard Kevin say, is very important.

21 And very low-cost materials. You know, it's a very
22 powerful combination in terms of reducing costs and
23 enabling new designs. And you can do it on site, as
24 well. And so you see that -- kind of, that theme of
25 onsite automation. In fact, it's actually on the verge

1 of transforming the entire construction industry. And if
2 you start looking into it, you know, people are talking
3 about the third industrial revolution or industry 4.0.
4 And if you -- if you're interested in those things, you
5 can actually see that happening through the application
6 of automation to construction. I mean, that's where
7 you'll probably see it first.

8 But I just wanted to really make sure that that
9 automation component of it, which clearly has
10 applications to concrete, but also, your standard
11 concrete -- you can't just go to your hardware store, and
12 pick up a bag of Sakrete, and put it in the robot. It
13 takes material design. It takes a mix specialist in
14 research to modify that formulation in many different
15 ways, whether it's additives, or reinforcement, or what
16 have you.

17 There's a lot of research going on in that, and
18 we're doing some of that in our CEC funded project. But
19 we're drawing on research from across the rest of the
20 world, and then applying it here in California and trying
21 to enable taller, more cost-effective wind turbines.

22 **MS. LI:** Yeah, (indiscernible) and automation,
23 material science

24 **MR. MUSIAL:** It's green.

25 **MS. LI:** Yeah. Automation and material science --

1 we really need to talk to each other and work together to
2 achieve this goal.

3 **MR. VAN DAM:** Okay. Thank you. That gets us to the
4 next question. And again, some of it was already alluded
5 to in the previous Q and A. Are the environmental life
6 cycle aspects of the new composite materials and
7 technology innovation being evaluated in the design and
8 development of next-generation, land-based, and offshore
9 wind technology? Maybe, Mo, maybe you want to start off
10 with it?

11 **MS. LI:** Yeah, I'm going to stand here so I don't
12 hurt my neck. Can I have the --

13 **DR. PALMA-ROJAS:** The control.

14 **MS. LI:** All right, so this is the question about
15 the environmental life cycle impacts of wind turbine
16 structure. Because the first-generation wind turbine
17 blades are reaching the end of the life, and most waste
18 is sent to landfill. So we really need to consider the
19 environmental impact of those waste of those already
20 build wind turbines.

21 But also, we need to consider in future, when we are
22 building taller, bigger turbine blades and taller towers,
23 what would be the environmental impacts of these?

24 In the past, there has been some limited studies
25 about the environment life cycle impacts of wind turbine

1 blades. For example, macroscopic quantitative analysis
2 of environmental life cycle impacts of a typical 45.2
3 meter 1.5 megawatts blade has been analyzed. In the
4 analysis -- so first, we look at the global data to
5 calculate the amount of wind turbine blade materials
6 consumed in the past, up to date. And then they consider
7 the equal data for different stages here in the life
8 cycle.

9 So the stages includes the raw material production
10 stage, the tower -- the turbine blade manufacturing
11 stage, transportation, operations, and maintenances. And
12 the major findings are for the typical 45.2 meter blade,
13 the carbon footprint is about 795 gigajoules and mainly
14 gets dominated by the manufacturing processes and raw
15 materials. In both of them, the first two stages
16 occupies ninety-six percent of the total carbon footprint
17 and also energy consumption. The total mass is also
18 calculated. And there are some numbers here about the
19 consumption of the energy and also a carbon footprint.

20 The analysis also considered the major different
21 materials, carbon fiber, glass fiber, and resin, and the
22 other type of materials. For the material use and the
23 energy consumption of this 1.5 megawatts blade, the
24 energy consumption is dominated by carbon fiber or glass
25 fiber fabric and then the resin and adhesive. The first

1 one is 38.6 percent. The second one is 56.7 percent.
2 The other type of materials on the blades, they occupy a
3 smaller amount of percentage. And here we are only
4 looking at the blade.

5 And now this one is comparing two different
6 materials for the blades. One is glass fiber reinforced
7 plastics. The other is carbon fiber reinforced plastics.
8 So this here is what I want you to focus on. Compared
9 with glass fiber reinforced plastics, carbon fiber
10 reinforced plastics has higher performance, and also
11 higher energy consumption, and higher carbon footprint,
12 and also higher total water consumption. And those
13 numbers are very specific for this specific wind turbine
14 blade. But if we look at different wind turbine blades,
15 onshore versus offshore, larger ones -- those numbers can
16 be totally different.

17 Now here, there is also study of the wind turbine --
18 the entire structure, not just the blade. So here you
19 look at the different components of the structure
20 including the tower structure, the blade structure, the
21 foundation structure. I highlighted those are the
22 important components. You can see the weight of
23 different components. The tower structure probably is
24 the second heaviest. The foundation is highest weight.
25 And then the third is the blade. You can see the

1 difference between the mass of the blade and the tower
2 structures and also the foundation structures.

3 The results of the life cycle analysis in terms of
4 energy consumption and carbon footprint -- the landfill
5 side is assuming everything will be landfilled -- the
6 waste will be landfilled. The second one is considered
7 recycling. The main message here is first, again, if we
8 look at the entire structure, also the material stage --
9 production stage and manufacturing stage dominate in
10 terms of the energy consumption and the carbon footprint.
11 Now if we compare landfill and recycling, of course, if
12 we can recycle most of the materials, then the total
13 energy consumption carbon footprint will become lesser.

14 So here is your current disposal and recycling
15 strategies. For iron, ninety percent are recycled. For
16 concrete, 100 percent goes to landfill. Fiberglass, 100
17 percent goes to landfill. Aluminum, about half
18 recycling.

19 Now, to summarize, I think that it's very important
20 to evaluate how new materials, new blades, taller towers,
21 different foundation designs, and the manufacturing
22 processes are going to affect the life cycle
23 environmental impacts of wind turbine tower structures.
24 It's also important to come up with new strategies to
25 reduce environmental impact, especially during the

1 material production and also manufacturing processes,
2 because these two stages really dominate. For example,
3 if we can come up with materials like concrete materials
4 or composite materials that can be easily -- more easily
5 recycled, also last longer, consumes less energy to
6 produce, then we can reduce energy consumption during the
7 material production stage. And if can come up with
8 manufacturing processes that can make the process have
9 less environmental impact, that would also help.

10 **MR. VAN DAM:** Kevin, any questions?

11 **MR. SMITH:** I'm curious, is any of the fiberglass or
12 reinforced materials being used in concrete or other,
13 like, secondary uses like --

14 **MS. LI:** They are used for retro phasing purposes --
15 repair and retro phasing purposes.

16 **MR. SMITH:** Okay.

17 **MS. LI:** Yeah.

18 **MR. SMITH:** But like, I'm saying, like, having the
19 crushed materials, like, once you make a blade, the resin
20 that triggers like a one-way chemical process.

21 **MS. LI:** Um-hum.

22 **MR. SMITH:** That's why I think recycling a blade is
23 so difficult. That once you bind that resin and stuff
24 like that, it's kind of done. So but is there an
25 application for that material and a secondary application

1 because those fibers still have value. And there's
2 reinforcement value, and it could be mixed with other
3 materials --

4 **MS. LI:** Um-hum.

5 **MR. SMITH:** -- or --

6 **MR. MUSIAL:** As an aggregate.

7 **MR. SMITH:** As an aggregate. I think that's where
8 I'm going. I don't know if that's possible.

9 **MS. LI:** Yeah. It has not been done, but in theory,
10 that can be done. People should get used to it.

11 **MR. SMITH:** That should be done.

12 **MS. LI:** Yeah.

13 **MR. VAN DAM:** Okay. We will move on to the next
14 question. But I just want to be sure that we finish up
15 (indiscernible) we have time. And have also some time
16 for some more questions from the public. So the -- let's
17 see, where do we go?

18 So the question five, I'll rephrase it a little bit
19 maybe. The question is, really, what was, clearly, with
20 these turbines onshore and those offshore, we have to get
21 better monitoring techniques of the systems there. So
22 what technology is out there to keep us informed about
23 potential in the chemical issues, structural defects, and
24 potential damage, and those new onshore as well as
25 offshore turbines? And you know, are, kind of, these

1 robotic systems useful in that talk -- a lot of talk
2 about using drones for inspections, autotype of robotic
3 systems for monitoring and maintenance. So what is --
4 what do you see -- what are the research opportunities?
5 What are the hurdles there when we come to -- when it
6 comes to these kind of technologies?

7 And maybe, Mo, could I ask you to talk a little
8 about that first?

9 **MS. LI:** Sure. Okay, so this is the fifth question.
10 Okay, the format got messed up a little bit. That's
11 fine.

12 Here we are looking at a wind turbine structure, and
13 it shows examples of the health monitoring systems
14 installed. For example, accelerometers are installed to
15 measure acceleration during operation. Seismic
16 accelerometers from surface centers installed to the
17 surface of the tower and also the blade to measure
18 displacement or a strain, for example, or even
19 temperature.

20 The current approaches -- here, it shows current
21 approaches. A visual inspection is most straightforward
22 approach typically by examining the surface of the
23 structure and see if we see any flaws, any damage,
24 delamination, and so on.

25 For the future, for the tower structures, it's very

1 difficult to do visual inspection especially considering
2 the safety issue. Now if we consider those offshore
3 structures or those turbines in very remote area, it's
4 also extremely difficult to do visual inspections.

5 Some new developments, they include the videoscopes
6 and our flying remote visual inspection device, like
7 drones to go there -- example here -- to get closer, take
8 pictures, and kind of replacing visual inspection without
9 really many people there.

10 So this is -- another approach is based on the
11 vibration analysis. For example, you compare the mode
12 shape between the reference and an inspection stage to
13 see if there is any difference.

14 The third category, we will use point-based strain
15 measurements like strain gauges attached to the surface
16 or optical fiber sensors to see if there is some larger
17 strain or there is some larger deformation at a certain
18 location where the sensors are installed.

19 Acoustic emission method is another method, and then
20 also, ultrasonic testing techniques, radiographic
21 inspection, and thermal imaging methods.

22 So here I summarized the major challenges related to
23 each method. First one is visual inspection including
24 using a drone. The method works well for surface
25 (indiscernible), or damage, or information. But it does

1 not collect information that is below the surface. If
2 there is delamination -- there is some internal damage,
3 we cannot see it.

4 Vibration analysis requires deployment of many
5 sensors and also requires computationally intense
6 analysis techniques. It focuses more on the global
7 behavior but does not really focus here on the local
8 damage. This method is affected by the environmental
9 change like such as weather change. The weather change
10 can change the modal behavior.

11 Point-based strain measurements, they collect data
12 where the sensors are installed. But if the damage is
13 away from the sensor, the sensor cannot really get the
14 information. So it's not sensitive to the damage away
15 from the location. It's only sensitive to the surface
16 strain change. If there is some damage, cracking inside
17 below the surface, the sensor cannot pick up the
18 information.

19 For concrete monitoring, for example, for the towers
20 or for the foundation, it's very -- almost impossible to
21 use strain sensors to collect information about concrete
22 cracking.

23 The sensors are not cheap, either. So if you want
24 to get more distributed information, we need to install
25 lots of sensors, and that becomes really, really

1 expensive.

2 Acoustic emission method -- more suitable to be used
3 for blade monitoring and steel tower monitoring. They
4 need to be near damage source to be accurate. Their
5 measurement can be high costs, and also data
6 contamination can be due to the noise and secondary
7 source. But that contamination issue is more severe for
8 concrete structure monitoring like tower monitoring
9 because concrete has very heterogeneous structure
10 compared to metal -- compared to a carbon-based
11 composite. The signal passing through concrete will be
12 highly attenuated. So analyzing the data, trying to
13 guess what is really happening in concrete has been a
14 major challenge in the research field. And noise and
15 secondary sources can also contaminate the data.

16 Now, ultrasonic testing method requires power hungry
17 instrumentation. Again, it is susceptible to
18 environmental conditions. Environmental conditions can
19 influence the test quality, especially for concrete
20 structures like foundation and towers.

21 Radiographic inspection is sensitive to cracks and
22 voids. So these advantages, but they do not evaluate the
23 structural performance like global performance. It's
24 also labor intensive to conduct because we need to send
25 experts to carry the equipment out there to do this kind

1 of inspection.

2 Thermal imaging method has lower resolution, labor
3 intensive, and not very appropriate for early fault
4 detection because the temperature develops more slowly in
5 the early stage.

6 So here are some facts. The size of the wind
7 turbine has increased over the years. It's very
8 difficult to perform inspection maintenance due to the
9 height, remote, and offshore locations. However,
10 continued or real time monitoring is extremely important
11 to improve the safety, minimize downtime, and provide
12 reliable power generation, and also lower costs related
13 to maintenance and logistics, especially the turbine
14 price is going to increase with higher capacity. So we
15 do not want to have any failure or safety issues or
16 interruption for those larger turbines.

17 Research is needed having reliable -- or developing
18 reliable, low-cost, continued, and most importantly,
19 distributed damage sensing approach. Not just at the
20 sensor point, but it can give us a distributed
21 information. Things happening on the surface will also
22 enter the surface.

23 If desired, the system can be integrated into the
24 wind turbine system. That's going to benefit the wind
25 industry by reducing the life cycle costs and make the

1 wind energy more affordable.

2 Any comments?

3 **MR. VAN DAM:** Walt, any more thoughts, especially
4 focused on the offshore part?

5 **MR. MUSIAL:** Yes. Yeah, I'd like to maybe add a few
6 things. That was a very good list of nondestructive
7 capabilities. And you know, a lot of that gets
8 implemented well in the laboratory and some, you know,
9 especially during testing. And some of it's very useful,
10 especially some of the sensor technologies.

11 What we've found is that a lot of that type of
12 health monitoring has to be done in conjunction with the
13 turbine manufacturer because to know -- you have to know
14 what's normal. And so that has to be implemented first,
15 and then you measure the deviations based on a deviation
16 from a normal state. And so we -- that's been -- and
17 that, I think, is what's happening.

18 In offshore wind, the value proposition for all this
19 technology is much greater --

20 **MS. LI:** Um-hum.

21 **MR. MUSIAL:** -- because it takes a lot of -- it's
22 very expensive just to send someone out to see what's
23 happening.

24 So I totally agree that the drones going to be very
25 important as a first stage of inspection to see if -- see

1 what's going on, and you can do that very quickly now.
2 And the resolution of the cameras has gotten so good. So
3 you can really see if there's defects on the exterior.
4 But as you said, it's really hard to see what's going on
5 inside, so you need more. You need cameras inside in the
6 cell. You need other sensors on the critical components
7 that you can bring that data through either the SCADA
8 system or an independent, more high-speed data system to
9 shore. And I think one of the -- this emerging
10 capability -- or the emerging area of the field in O&M is
11 this advanced data analytics that people are starting to
12 look at in terms of, you know, prophesying multiple data
13 streams and interpreting that. And the interpretations
14 is the key --

15 **MS. LI:** Um-hum.

16 **MR. MUSIAL:** -- being able to look at that and
17 understand there's something going on, or is something --
18 or are systems normal? So that's really an emerging area
19 that every -- that's being looked at, especially in
20 offshore wind. And I think it's going to become an
21 important piece.

22 And it's just -- I mean, just to get a sense, you
23 know, a ten-megawatt wind turbine, which is say, the top
24 of the spectrum right now, is going to be a forty-
25 million-dollar investment for these projects. So it's --

1 the percentage that goes into the monitoring equipment is
2 smaller and smaller as the turbines get bigger. So it
3 pays -- it's going to pay off in the long run.

4 **MR. VAN DAM:** Kevin, do you have any comments?

5 **MR. SMITH:** Yeah, I think great of both of you. I
6 totally agree with all your thoughts. What I would add
7 is from firsthand experience, we're flying drones, we've
8 been sending, like, remote robots down into blades to
9 look at inspections, to look on the inside because our
10 whole thing is what's the effect of a defect?

11 **MS. LI:** Um-hum.

12 **MR. SMITH:** Which that whole topic is ripe for more
13 R&D. Like, you see a crack in a blade or something in a
14 foundation, so what.

15 **MS. LI:** Um-hum.

16 **MR. SMITH:** You have to ask that interpretation.
17 And that's where you need to understand where is the
18 crack, how deep is it, what is the structure around it,
19 how long could you operate the machine or -- with that
20 condition in place. Maybe you don't have to stop it. So
21 I want to build on what -- I call it more of, like, a --
22 there's a lot of all these different ways of getting,
23 like, status or they're kind of like different pieces of
24 a puzzle.

25 **MS. LI:** Um-hum.

1 **MR. SMITH:** You know, they all -- these different
2 senses give you a different out -- different view of the
3 picture, but you -- there's this -- still a holistic
4 picture that maybe is artificial intelligence, maybe it's
5 other forms of how you process all these discrete signals
6 coming into the turbine controller. Then you know what
7 the turbine condition is -- what the wind is doing and
8 what the turbine is trying to do.

9 I think there's a whole higher level health
10 monitoring and decision making that is needed in these
11 machines. Offshore is the sharp end of that spear
12 because that's when it's going to pay off the most. But
13 that's also where you're going to lower the cost of wind
14 because you can run these machines probably much longer
15 with known issues. Like you know your knee hurts, but
16 you can still go for a walk. Okay, that you know your
17 machine has maybe an issue, but you can still produce
18 some energy as opposed to just letting it fault and sit
19 there and do nothing. I think that's the next level the
20 industry needs to get to.

21 You're right. The OEM's, Walt, they've put their
22 arms around all of this data, and they call it
23 proprietary. And it's even hard for the owners to get
24 access to their own data. And so I think other parties
25 pushing on this or developing other technologies that can

1 bring in these different sensor streams and provide a
2 different view for the owner would be extremely valuable
3 for the industry.

4 **MR. VAN DAM:** Okay. Thank you. Yeah, this kind of
5 ties into a -- really, like we just commented on, big
6 data which is of course the analytics of big data and
7 that's one of the big research areas in many fields, so I
8 think this is the time -- that getting access to that
9 data, I think that is the Achilles heel of the industry
10 right now, I think. Anyway.

11 Let's just move on to the last question. I want to
12 be sure that we wrap things up in a timely manner. So
13 what research are needed into the environmental and
14 technology (indiscernible) development and implementation
15 of offshore wind energy in California?

16 And with that, I ask Walt, maybe, to comment on
17 that.

18 **MR. MUSIAL:** Sure. I don't want to repeat myself
19 because I think I actually went through a lot of this
20 earlier.

21 So I think that just to kind of end this, I think
22 that you know, if I had to pick a few, I think that
23 investing in the local -- the technology for the local
24 infrastructure high seas state crew transfers, a
25 statewide coastal grid access and expansion study to

1 understand how the power is going to get delivered into
2 the load centers. You know, it's not necessarily a
3 foregone conclusion in my mind, at least, that there's
4 going to be these lateral transmission lines inland.
5 Maybe there's going to be a more effective way of
6 distributing it in a sub seeded backbone that goes along
7 the coast.

8 So those kinds of tradeoffs should be looked at, the
9 port studies are necessary. So if there's going to be
10 manufacturing installation commissioning and deployment
11 from specific ports, what's going to be needed right now
12 to upgrade those ports so that they're ready in time for
13 the projects to be built?

14 And so -- and then I think focusing on the resource,
15 focusing on the quality of the data that we need to make
16 accurate grid value studies and understanding the
17 integration of offshore wind. How much can be delivered,
18 and how will it play with solar and land-based wind as
19 you get toward the hundred percent goal? So I think
20 those are key questions.

21 And then I guess on the technology side, I'd focus
22 on things like the deep-water mooring systems and
23 flushing out those technical issues that probably haven't
24 really been worked very hard yet.

25 **MR. VAN DAM:** Jason, any thoughts?

1 **MR. COTRELL:** Yeah, I would like to add something,
2 and it's related to concrete and materials. You know, we
3 have the opportunity -- we have a small DOE funded
4 project to look at the application of 3-D printed
5 concrete and offshore. And that's been a real eye opener
6 because I'm learning more about offshore. I'm learning
7 more about concrete and marine applications.

8 And I'm seeing this battle -- this classic battle
9 between steel and concrete about who's going to win out.
10 And traditionally, they started with steel because they
11 put steel piles into the ground. But you quickly run
12 into scalability issues with that and other steel
13 structures.

14 And concrete is, you know, you look at this building
15 and you look at other large structures, gymnasium sized
16 structures, concrete scales well. And it can be -- it
17 was made -- designed to be built on site. And so those
18 are some of the key features about both offshore and
19 land -- tall, land based, big turbines.

20 So, you know, I think there's a new interest in
21 concrete. I would -- I'm seeing it pretty much across
22 the globe. And it's not just because of 3-D concrete
23 printing, but it's also some of these emerging
24 industries.

25 And then one key point about concrete that I like to

1 point out is its simple cost effectiveness. If you look
2 at the cost of a truck's offshore structure made from
3 steel, the finished cost is 3,000 dollars a ton for that
4 structure. For concrete, the raw materials -- now you
5 still have to form it, but you're looking at something
6 like a hundred dollars a ton. So there's a factor of
7 thirty in cost difference. Now there's a lot of other
8 things that will inflate that cost. But at the end of
9 the day, that raw material is what affects cost.

10 And then the other really important thing -- so cost
11 and then jobs. You know, the bottom line is you don't
12 ship concrete structures over land very often. It's just
13 too heavy and too expensive. And that's why we have --
14 across the U.S. and across the world, we have concrete
15 plants everywhere. It makes sense. It's inherently a
16 local process which means local jobs. You effectively
17 cannot outsource it. So that's another, perhaps, very
18 attractive thing for California to consider in its
19 material design. It's possibly, in some ways, a way -- a
20 path of the future. It needs a lot of research and
21 development especially in sustainability.

22 And just one final thing that I've seen recently in
23 California is, it's amazing how much concrete expertise
24 exists in California. UCLA, UCI, UC San Diego, USC, you
25 know. And why is that? Well, look at the -- look at

1 transportation, look at our strengths. So it's a
2 strength that California has. It's a potential in that
3 strength place with its offshore resources. So I think,
4 really, it could be a world leader. And those
5 technologies that California develops can then be an
6 export to the rest of the world, therefore affecting
7 climate change. And you effectively end up selling those
8 technologies to the rest of the world for the benefit of
9 us all.

10 **MR. VAN DAM:** And like those (indiscernible) down
11 here. And I maybe opening up for a few more questions.
12 Maybe first let's start here in the room maybe? That's
13 right. So if anybody has a comment in the room, we can
14 start here, and then we will open up to our online
15 participants. Just so everyone in the room knows, we
16 have about -- we had about fifty-two people online. It
17 looks like we still have those.

18 **FEMALE SPEAKER:** And we have some questions.

19 **MR. VAN DAM:** Right. So, okay, let's see. Is there
20 anyone who have a comment or question specific to this
21 panel? In other words, if it's a general comment, we
22 prefer to entertain that at the end.

23 **MALE SPEAKER:** Yes, I'd like to hear more about the
24 idea of 3-D printing onsite offshore. It sounds like
25 your research is just concrete. I'm wondering if there's

1 also a similar type idea about resin and how that might
2 possibly be done offshore, like, on barges or vessels.
3 Has that all been thought through, or is that just a --
4 is that just too far away to think about?

5 **MR. VAN DAM:** I'm going to give that to you.

6 **MR. COTRELL:** So --

7 **MR. VAN DAM:** Is that loud enough?

8 **MR. COTRELL:** -- I guess I would say, when I think
9 about and have thought some about, additive manufacturing
10 of large structures using polymers, normally, it's in the
11 context of, well, it might be too slow with the 3-D
12 printing processes that we're using. That's a research
13 topic that we're exploring now. And if we're not able to
14 solve those problems, then what we want to do, and some
15 of this has already been done already, is we want to
16 print the molds. And then we want to fill those with
17 concrete. And Oak Ridge National Labs has already done
18 this for wind turbine blades, effectively. And that
19 research can be quickly -- relatively quickly -- research
20 isn't fast -- can be relatively quickly done and applied
21 to wind turbine towers, to offshore foundations for those
22 sorts of things. And you can do that at a port. In
23 fact, there's precedence for all of this.

24 The Army Corps of engineers has been exploring 3-D
25 printing of buildings, and they do it in a tent. They do

1 it in a big tent. So if they're doing it out in the
2 field in a big tent, there's other ways to enclose these
3 structures, then you can do it at a port.

4 Now nothing -- I just want to make clear, nothing
5 that we're proposing would be printed you know, fifty
6 miles offshore or ten miles offshore where you might
7 install the wind turbines, but I'm not ruling it out.

8 **MR. MUSIAL:** Can I just make a -- sorry. I just
9 want to make a general comment because I'm not sure of
10 the nature of your question, but you don't want to push
11 anything offshore that you can do onshore, right, so
12 because the labor just goes up incredibly. It'll make it
13 not economical. So I assume you meant, maybe, at
14 quayside or in the harbor someplace. But that's where
15 you'd want to do it. In fact, that'd be the optimum --

16 **MALE SPEAKER:** (Indiscernible)

17 **MR. MUSIAL:** Yeah.

18 **MALE SPEAKER:** And I was thinking about the idea of
19 manufact -- I was also thinking about your comment about
20 manufacturing and moving manufacturing is costly the
21 whole plant if you had something on a boat you could move
22 it up and down the coast.

23 **MR. MUSIAL:** Yeah, I --

24 **MALE SPEAKER:** That sounds like that doesn't --

25 **MR. MUSIAL:** I think you wouldn't want to do that.

1 I think the goal is to get as much of the labor at
2 quayside or onshore as possible and just do the simple
3 stuff out at sea.

4 **MR. VAN DAM:** Right. We will entertain one more
5 question in the room, and then we'll move to --

6 **KEVIN WOLF:** Thank you. Yeah, I'm -- name's Kevin
7 Wolf. I work with the Wind Harvest International.

8 One of the things I thought was great in the
9 beginning of this conversation was looking at the wind
10 resource and looking at how large the market is because
11 if you're going to do manufacturing, you need to show a
12 big market. And all that simulates investment in. So if
13 you don't know, really, what your resource is, do these
14 tall -- super tall turbines -- are they going to impact
15 birds in areas? Does that take them out of consideration
16 in large windy areas of the state? If you don't know
17 that, it's hard to get anybody to come in and say this is
18 the product. So it seems a baseline research needs to be
19 done on impacts on birds.

20 And the other one is the wind resource. So I'm glad
21 to see you've mentioned wind shear. The state shows that
22 there's a great deal of near ground wind resource because
23 the wind shear is so upside down in the wind resource
24 areas in California. So that means that maybe one of the
25 things you should be looking at is shorter turbines under

1 the taller turbines if the wind is really at fifteen to
2 eighteen miles an hour right there in the San Gorgonio
3 Pass that's fifteen meters above the ground, that's a
4 tremendously valuable resource. New research is showing
5 that you can just put small horizontals under tall
6 horizontals. If you're going to go to super tall, maybe
7 you'd put the shorter ones underneath.

8 Are there any interests or movement in the direction
9 of really evaluating California's wind resources for
10 figuring out what the future market should be?

11 **MR. MUSIAL:** It's a -- there's a comment. I would
12 agree. We were talking over lunch that we think that the
13 shear is -- the shear extrapolation question is really
14 still -- there's some questions around the state as to
15 where do you actually have higher shear values because
16 you might have opportunities in the valleys north of here
17 in the central valley. But maybe the characterization
18 needs to be a little more refined because the topography
19 and the weather missions around California are so unique
20 and so microclimatey.

21 **MR. VAN DAM:** Okay, so we're really -- go ahead.

22 **MALE SPEAKER:** I would just add that, you know, wind
23 shear is complex, not only because it varies from region
24 to region, but it also varies throughout the day. And so
25 that's why it's hard to -- that's why it's hard to make

1 generic statements. And that's why it would make sense
2 to do a more thorough characterization as far as
3 possible. And then I just would add that if you are
4 going to measure -- if you're interested in the winds at
5 200 meters high, well, you're probably going to have a
6 tower that's also measuring at ten meters high. So --

7 **MR. MUSIAL:** Not necessarily. A lot of -- some of
8 them are only measured forty meters and above. So if you
9 need (indiscernible) wind shear.

10 **MALE SPEAKER:** Okay. But I do think -- I guess the
11 point is is that there would be value in -- if you're
12 going to characterize the site, do a thorough job at that
13 site is my point. And that I won't use the two birds
14 with one stone analogy.

15 **MR. VAN DAM:** All right. I apologize to the next
16 panel, I guess. I promise we will hear someone from the
17 our online participants. Maybe you'll entertain one
18 question from the online, and then we'll move on to the
19 panel. After that panel, there is another time to
20 provide comments and we can continue our questions and
21 answers at that.

22 **MALE SPEAKER:** Okay, we have a question from Brandon
23 Pitchett (ph.).

24 Yes, a couple folks have mentioned being a good grid
25 citizen and the duck curve in California. Is there a

1 good map of existing wind generation diurnal patterns in
2 different locations in California and how that typically
3 integrates with generation mix like number 4 on the
4 screen, and this was a while ago? So I don't know what
5 screen he was talking about.

6 **MALE SPEAKER:** Is that a land-based question or an
7 offshore question, do you know for Brandon?

8 **MR. VAN DAM:** Well, I guess I don't if I would like
9 to comment on that, but we will keep that question in our
10 set of information collected here.

11 **MR. MUSIAL:** I think -- I mean, I think, if I
12 were -- sorry. It seemed like -- I believe the answer is
13 not good enough. And I think I understand what Brandon's
14 saying, so I -- but I think that there needs to be more
15 information generated on our hourly site-specific
16 resource. And I would say that's true for offshore.
17 It's probably true for a land based if we don't have good
18 assessments of wind shear and that sort of thing. I
19 think that seems to have come out on his conversation.

20 **MR. VAN DAM:** All right. Will you please join me in
21 thanking our panel here? Thank you.

22 At this point I would like to call Doctor David
23 Stoms to kick off the second panel.

24 (Pause)

25 **MR. STOMS:** Good afternoon. Welcome. My name's

1 David Stoms. I'm also from the research division of the
2 Energy Commission. And I'm very pleased and excited to
3 introduce this panel -- final panel of the day. We've
4 heard from Michael Derby and several of the other
5 speakers about the very large potential for offshore
6 wind.

7 Is this loud enough or do we need to raise it up a
8 little more?

9 About the potential for offshore wind in California
10 and its importance or potential importance for meeting
11 California's energy and climate goals. And we've also,
12 as Michael and other pointed out, there may be
13 environmental constraints on some of that deployment.
14 And so knowing what those potential constraints are and
15 if -- and how to mitigate those could be a very important
16 part of an EPIC research program as well as complementing
17 the programs of other agencies and groups.

18 So we've put together a panel of some of our
19 colleagues from both federal and state agencies and from
20 the private sector to talk about the research in this
21 area -- the research needs. This is sort of -- the outer
22 continental shelf is kind of like a new ecosystem for us
23 in terms of the kind of environmental research we've
24 typically done.

25 And so this session is going to help us understand

1 what the -- what research is already being done or has
2 been done, what the research needs are -- the gaps, and
3 help us sort of look at what the priorities that maybe
4 the EPIC program could play a role in.

5 So I'm going to just, very briefly, give a high-
6 level introduction to the session, here. Since this is a
7 new area, we've only had a very few studies in the past.
8 And the three that I've listed here are actually all what
9 we consider small grants where they were sort of
10 unsolicited topics. We just put out a general call for a
11 general area, and people proposed applications. And
12 these three happened to be in the area of offshore.

13 The first was one by UCLA looking at modeling the
14 effects -- atmospheric effects of a large offshore wind
15 farm and the effects on the downstream wind field and
16 cloud formation. The second was looking at a way to
17 monitor harbor porpoise using a passive acoustic system
18 rather than the more conventional methods of -- so it was
19 really, kind of, a monitoring technology approach. And
20 the third one is one -- the only one actually funded
21 under EPIC which is a -- using machine learning to
22 interpret video imagery you know, from submersible
23 vehicles to identify species -- number and types of
24 species in the video instead of having highly trained
25 biologists sitting there for many, many hours so

1 hopefully, reducing the costs of those kind of surveys.

2 So an example of that is the project from Cal Poly.

3 So we do have this in the EPIC investment plan that
4 Silvia mentioned. We have an initiative on environmental
5 land use solutions to facilitate the transition to a
6 decarbonized electricity system. That does include
7 marine environmental research and lists some of the
8 potential topics. It was intentionally very high level
9 and very general to be responsive to the information
10 needs identified by the task force and kind of as this
11 topic emerges. But we wanted to get it in there as a
12 place holder. And so this workshop's going to help us
13 you know, fill in some of that information about what
14 those opportunities should be.

15 Unlike Silvia, I only had two discussion questions.
16 But they're much more high level because it's still a
17 fairly new area. So it's not like next steps where we
18 can talk about you know, things as specific as
19 manufacturing.

20 So the first is just the you know, trying to get
21 from the speakers and from comments from you, what are
22 the priority topics that we ought to consider for an EPIC
23 program you know, that would really leverage probably a
24 relatively small amount of funding that we could apply to
25 this and not duplicate the work of others. But I put the

1 word unnecessarily in there and emphasized it because we
2 also recognize that for new science there's also a need
3 to replicate studies for validation as well as
4 investigate things from you know, different lines of
5 evidence. So duplication is not off the table entirely
6 because of that.

7 Second question then is you know, general focus in
8 EPIC is to identify you know, what are the barriers to
9 meeting our energy and climate goals. And in terms of
10 the knowledge gaps, there could be several causes of
11 those as we don't have enough information. Do we have
12 the information, but we don't have you know, the
13 sophisticated enough risk assessment methods? Or do we
14 not have the data because we don't have adequate you
15 know, technology to monitor and survey in offshore
16 environments for a particular biological resource?

17 So I'm going to stop there and turn it over to our
18 first speaker who's on WebEx, hopefully. And if we can
19 turn it over to Jeremy Potter from the Bureau of Ocean
20 Energy Management.

21 **MR. POTTER:** Can you hear me?

22 **MR. STOMS:** Yeah, we can. Great.

23 **MR. POTTER:** All right. I'm looking for the share
24 screen.

25 **MR. STOMS:** Yeah. Have you made (indiscernible)?

1 (Pause)

2 **MR. STOMS:** All right. There we go. You should be
3 able to --

4 **MR. POTTER:** You can see my screen now?

5 **MR. STOMS:** -- share your screen now. Not yet.

6 **MR. POTTER:** Not yet. All right.

7 **MR. STOMS:** Okay, here it comes.

8 **MR. POTTER:** Did that work?

9 **MR. STOMS:** Yes. It did.

10 **MR. POTTER:** All right. Thanks, David. I want to
11 say thank you for the Energy Commission for organizing
12 the workshop and inviting BOEM to participate. We are
13 very excited when we saw the workshop announcement and
14 that you all were considering a future solicitation for
15 next generation wind energy technology as well as
16 monitoring system development.

17 My name is Jeremy Potter. I'm the environmental
18 sciences section chief in the BOEM Pacific Region.
19 There's about five of us total in the room. So I'm sure
20 if I misstate anything, I will be corrected pretty
21 quickly. You may know some of the others, Netsa Sumai
22 (ph.) Dave Pereksta, Jean Thurston, Dave Panzer are
23 joining me.

24 So the charge of my talk was to provide an overview
25 of the latest in environmental research and remaining

1 gaps research needs to advance understanding of potential
2 environmental impacts of offshore wind off of California.
3 So I have three primary objectives for the next fifteen
4 minutes or so. One is provide an update on the
5 California offshore wind energy call areas. Two, briefly
6 highlight the BOEM environmental studies program and the
7 strategic approach that we're working to implement in the
8 pacific region. And then three, to note several specific
9 research areas of interest that might be worth the Energy
10 Commission's consideration.

11 So as many of you know, BOEM State of California,
12 through the leadership of the California Energy
13 Commission, has been engaged in a collaborative offshore
14 wind energy planning process to foster coordinated and
15 informed decisions about California's shared ocean
16 resources and many of the users who depend on them. The
17 big news last Friday, October 19th was that BOEM
18 published a call for information nominations to identify
19 companies interested in wind energy leases. This is the
20 first step to offering a location for wind leasing. The
21 call included three potential lease areas, two off the
22 Central Coast, that's the Morro Bay and Diablo Canyon and
23 one off of Northern California, Humboldt. In total,
24 that's about 1100 square miles.

25 The call and the 100-day public comment are seeking

1 two things. One is to gauge specific industry interest
2 in acquiring commercial wind leases in some or all of the
3 call areas. And then two, to obtain public input on the
4 potential for wind energy development in the call areas.
5 That could include site conditions, resources, multiple
6 uses in close proximity to the call areas that might be
7 relevant to BOEM decision making.

8 In the top right of the slide you see a URL,
9 www.boem.gov/california. If anybody has more interest
10 and more information about the call or if you want to get
11 really quickly to how to put in public comments, I would
12 suggest going to that link. That would probably be the
13 easiest way to get there quickly.

14 So it's kind of perfect timing for you to set up the
15 workshop today. I'm not going to go to an obligatory
16 BOEM organizational slide, but I do want to highlight the
17 two major divisions of BOEM's environmental arm which are
18 both tasked with supporting and informing management
19 decisions. One is the environmental science program.

20 **MR. STOMS:** Excuse me, Jeremy. Jeremy, can I
21 interrupt for just one second?

22 **MR. POTTER:** Yeah.

23 **MR. STOMS:** Could you make your screen full-screen?

24 **MR. POTTER:** It should be. It looks full-screen on
25 mine.

1 **MR. STOMS:** Okay, let's just go on then.

2 **MR. POTTER:** It might be the ratio of the slide.
3 That could be the issue -- I'm wondering. Can you see
4 the entire slide?

5 **DR. PALMA-ROJAS:** Yes.

6 **MR. STOMS:** Yeah.

7 **MR. POTTER:** Okay.

8 **MR. STOMS:** And we see the participants and other
9 things.

10 **MR. POTTER:** Oh, let's see. I don't see that. I
11 think that might be on your end. You can play with that
12 for the most part. Shall I keep going, David?

13 **MR. STOMS:** Yeah, definitely Let's just keep moving
14 on.

15 **MR. POTTER:** Okay.

16 Two environmental arms -- environmental sciences
17 division is really tasked with providing the
18 environmental information needed to make the management
19 decisions about offshore energy in federal waters. So
20 that's anywhere from three to 200 nautical miles
21 offshore. That includes the environmental studies
22 program, which is the primary mechanism that BOEM uses to
23 fund scientists to fulfill or fill in our data gaps.
24 That being -- could be academic, private sector, or other
25 federal scientists.

1 The second arm of the environmental analysis
2 division, which is focused on developing the
3 environmental documents required under NEPA. So the
4 environmental analysis group is using information from
5 environmental sciences to inform and developing those
6 environmental documentations. Worth noting that
7 identification of research gaps or data gaps can be
8 provided by either group. Certainly in the Pacific
9 Region, it's interesting that our scientist are dual
10 hatted. So basically, everyone has one foot in each
11 division. This helps ensure that the environmental
12 analysis are using the latest and best available data and
13 information. As long as -- making sure that we're
14 identifying what are the best data gaps or data gaps that
15 we need to fill, priority data gaps.

16 Sorry. Adjusting. Okay.

17 During numerous state quarter meetings over the past
18 several years, there's really three topics that seem to
19 be coming up in many and most of the comments. Those
20 being generally birds, marine mammals, and fish. And
21 BOEM takes those comments and those concerns very
22 seriously. Here, the ecological information for
23 renewable energy -- I'm not going to go through each of
24 these bullets. But I want to, at least, flag what are
25 many of the eight major issues that we're considering.

1 These are really a lot of the information needs that
2 we're trying to use to assess environmental energy
3 projects based on the potential effects to marine
4 resources.

5 What is really important to note is placement right
6 at the very beginning -- the importance of placement.
7 Location is exceedingly important. Beyond that, there
8 are limited opportunities for a minimization and
9 mitigation other than really operational adjustments.
10 And at the bottom of the slide, you'll note how difficult
11 it is to obtain information in some of the areas that
12 we're working in, whether that's weather, remoteness, or
13 even research vessel availability. It's worth noting
14 that just last month we had 28-day crews just north of
15 Point Conception, and at least over half of that was
16 impacted by weather. So this work is expensive and
17 sometimes hard to accomplish.

18 Approaching goals -- really dividing this up in
19 terms of broad scale assessment and site-specific
20 assessments, you'll note the second bullet on each really
21 broad scale assessments is where BOEM feels that its
22 niche is, whereas the site-specific assessments are what
23 rely on industry for. Broad scale assessments include
24 large area surveys, data centrist modeling, vulnerability
25 assessments. And the site-specific assessments are

1 needed more as a project level of planning and assessment
2 such as preconstruction surveys to be able to assess the
3 effects of construction in the operational phases of
4 leasing and development. As I said before, the site-
5 specific assessments are funded by the lessee.

6 The goal of all of these are really threefold. One,
7 to understand the baseline conditions; two, be in a
8 position to actually understand what the
9 anthropogenics -- or be able to measure what the
10 anthropogenic effects would be; and then three, ensure
11 that design and implementation is done in a manner that
12 minimizes the adverse effects.

13 This is a really short and sweet slide. But in my
14 mind, it's perhaps the most important one in this
15 presentation. It's a process that we're using in the
16 Pacific Region for collecting the environmental
17 information informed management decisions. Synthesizing
18 existing data, collecting new data, only a small subset
19 is technology development, BOEM doesn't really fund that
20 very much, assessing risk, and then monitoring. In an
21 ideal world, this is a very straightforward process. In
22 reality, it's very complicated and iterative in many
23 respects.

24 In the next couple of slides, what I want to do is
25 explain some of the current and recent projects that

1 we've got ongoing but do it in a way that ties right back
2 to what this process is. So first, synthesizing existing
3 data, and of course the first slide I show is one that's
4 happening thousands of miles from California. But it's
5 really just an example slide. This is at its core,
6 synthesizing existing information. Solely collect --
7 it's not solely collecting and summarizing existing
8 information and how that can hopefully inform management
9 decisions. In this respect there were three primary
10 questions that this project tried to answer. Each of
11 which are listed on this slide. But I guess what I want
12 to highlight is this was kind of an ideal case for doing
13 this work around the main Hawaiian islands. There have
14 been lots of groups that have been collecting data around
15 there, but nobody had gone back to put all that
16 information in one place and try to assess the
17 implications of that data as well as identify what the
18 remaining gaps are specifically in a relation to
19 renewable energy.

20 In of itself, these are -- these assessment projects
21 are powerful tools to inform management decisions. But
22 they're also very helpful in informing future
23 investments -- scientific investments. On this slide,
24 it's just an example, this is a map that showed locations
25 for cetaceans. Point, we identified distribution and

1 mapped distribution of twenty-two different cetacean
2 species. But more than that, we use this information to
3 predict -- for predictive models of where distribution
4 might take place. And in this case, because of the
5 information gleaned from those models and the
6 predictions, we were able to then better target research
7 investments on future projects. For instance, right now,
8 we have got an investment -- or a project going on with
9 Navy and NOAA, as well, to look at marine mammal
10 distributions around the main Hawaiian islands in the
11 winter seasons. I can say that there is no single
12 product like this that is ongoing off the west coast
13 that's directly relevant to California. BOEM and others
14 have funded small pieces of these types of
15 biogeographical assessments, but not broad brush over the
16 entire west coast. Is there a need for something like
17 that in the future? Well, it is a priority that BOEM has
18 been discussing, but it hasn't been funded to date. But
19 the information is very relevant to try to best assess
20 what the existing data and information tell us.

21 Second, collection of new data and information. Sea
22 floor mapping is used to predict distribution of fish in
23 sensitive habitats. This is just a picture and an image
24 of a project that was done 2010-2012 in the outer
25 continental shelf of Washington, Oregon, and Northern

1 California, a collaboration between the State of Oregon,
2 BOEM, and multiple other federal agencies. The mapping
3 data that was collected with this just didn't stop there.
4 They collected, also, biological information on the sea
5 floor for more than 400 sample stations and the used data
6 was then turned into to projects and products to provide
7 a regional understanding sea floor and invertebrate
8 populations.

9 **MR. POTTER:** So using habitat, and characterization,
10 and ground truthing to develop predictors efficient
11 vertebrates. There is a lot -- it's interesting timing,
12 as there is a lot of related work like this going off of
13 California right now. Just in the past three months
14 there have been three major sea floor mapping efforts off
15 of California, two that are directly relevant to the
16 potential for California offshore wind.

17 In August, USGS and NOAA spent essentially the
18 entire month mapping a portion of the Cascadia Margin. A
19 subset of that cruise was focused on the vicinity of
20 Humboldt, including a subset of the Northern California
21 call areas. During September, USGS, NOAA, and BOEM were
22 working in and around what are the two Central California
23 call areas. This is the cruise that I mentioned that was
24 severely impacted by weather.

25 Vector is generally mapped south of the Monterey Bay

1 National Marine Sanctuary north of Point Conception.
2 Right now, NOAA ship Shimada probably just pulled into
3 Alameda for a short port call. It's following up on a
4 lot of the mapping work done in the past several months,
5 and taking a first step into habitat characterization
6 effort, largely focused on sensitive communities,
7 including deep corals and seep communities in the area.
8 A subset of that work is in all three of those call
9 areas, so it wasn't designed that way to start with.

10 Moving on to the third topic, which is assessing
11 risk. I'm not going to tread too far into what Scott
12 will likely discuss, but this is a major bird project,
13 which we're very happy with and is a great example of
14 looking at vulnerability or potential vulnerability of
15 species. In short, not all birds are created equal.
16 Vulnerability varies. This is a recently completed
17 assessment of collision and displacement vulnerability
18 among birds in the California current system.

19 It's a major collaboration with USGS, take home
20 methods being that vulnerability is driven by species
21 specific parameters. This is a graph of population
22 displacement vulnerability on the X-axis, and population
23 collision vulnerability on the Y. It highlights the
24 differences in risk among various bird types. Some are
25 at higher risk than others due to a variety of factors,

1 including behavior, natural history elements, and
2 conservation status.

3 Right now, I'm just highlighting the pelicans
4 because they are perhaps the most vulnerable to collision
5 based on this assessment. They can and they do fly high,
6 but they are not very maneuverable. Not going to go
7 through the rest of the various bird groups, but you can
8 get an idea of their groupings on the graph.

9 This is taking the same data and looking at it for
10 helping with marine spatial planning. Vulnerability
11 scores can be mapped using distributions to inform
12 spatial planning. On the left, you have collision
13 vulnerability. And on the right, you have displacement
14 vulnerability.

15 Jumping to monitoring, BOEM does have significant
16 experiences that relates to managing large-scale and
17 monitoring efforts with a variety of participating
18 entities. The Multi-Agency Rocky Intertidal Network,
19 more affectionately known as MARINE, is a long-term
20 monitoring effort for rocky intertidal species on the
21 West Coast.

22 BOEM was particularly interested in it in the
23 beginning due to oil and gas development off of Southern
24 California, but over the years it's grown into an
25 incredible partnership effort. Worth noting, never

1 underestimate how much time and money organizing these
2 types of efforts takes. It's incredible on a geographic
3 scope, number, and diversity of partners.

4 Despite the organization work, it's been incredibly
5 successful and has provided numerous unanticipated
6 benefits. This map shows mortality associated with sea
7 star wasting disease, which is something that was not
8 anticipated when the network was put into place, but the
9 fact that it was established has allowed us to get a look
10 on how it has grown and changed. It's helped document
11 widespread patterns, which can infer factors contributing
12 to the outbreak, such as water temperature.

13 Proposed Pacific seabird monitoring program. This
14 is an effort that BOEM has been considering for the last
15 several years. Whether or not -- it's not yet any
16 decision to fund a major effort moving forward, but to
17 me, this slide is a great example of a project that's
18 trying to take all the steps that I've just gone through.
19 Whether it's synthesizing existing data, collecting new
20 dated information, assessing risk and a monitoring
21 effort, and puts it all into one. It shows how they all
22 fit together.

23 Whether or not this moves forward, we might know
24 more in a year or so. But we are committed to this being
25 important, especially given all of the stakeholder

1 concerns that have been brought up as it relates to bird
2 species.

3 As far as a quick wrap-up, a few research topics
4 that we do think it's important for the Energy Commission
5 to consider. These relate to comments that we submitted
6 approximately two years ago, I believe. Near-shore and
7 onshore, just (indiscernible) that BOEM particularly --
8 if funds work, primarily the Outer Continental Shelf, so
9 more than three miles out. But there are, of course,
10 implications for offshore energy development in the near-
11 shore, whether that's actually in the water or onshore.
12 And I'm sure the Energy Commission is considering that.

13 Marine mammal entanglement is an issue that many
14 stakeholders are concerned about and that we've been
15 working to address to some degree already in a
16 partnership with PNNL. Also, remote monitoring
17 technology for installations is something that definitely
18 needs to be considered, and I think that provides a great
19 lead in for Scott's presentation. Things like bird-
20 strike -- we're still years out from having steel on the
21 water, but these are topics that we need to be
22 considering now.

23 And then ensuring complementarity with the Energy
24 Commission and BOEM efforts. We are primarily a funder,
25 not a doer of science, so we are in a position where if

1 there are opportunities for the Energy Commission and
2 BOEM to partner, we think that would be a fantastic
3 effort. At a minimum, I do believe it would be helpful
4 for us to share additional information about our past and
5 ongoing environmental studies.

6 We've only highlighted a very small number of them
7 today, and further discussions about remaining gaps and
8 research needs. We are always open and welcome to that.
9 We have a number of subject (indiscernible) are experts,
10 which I think would be quite helpful. Any way to
11 leverage, with respect to funding opportunities, we'd be
12 very supportive of. That's what I have for you.

13 **MR. STOMS:** Great. Thank you, Jeremy. While we're
14 transitioning to the next speaker, we probably have time
15 for one question. Scott, you want to come up?

16 **MR. TERRILL:** Is it on? Okay. I --

17 **MR. STOMS:** Let me do an introduction, then. Okay.
18 We didn't have any questions, apparently. So our next
19 speaker, then, is Scott Terrill from H.T. Harvey &
20 Associates, and he's going to drill down -- so Jeremy
21 gave kind of a very high level kind of overview and focus
22 on what BOEM particularly is doing, and Scott's going to
23 drill down more on the bird species, and what's known,
24 and what the gaps are, and what the differences are
25 between West Coast and other places where people know

1 more.

2 **MR. TERRILL:** All right. Yes. Thank you, David
3 (ph.). I appreciate that. I'm going to get some place
4 where I can see. Anyway, as Dave said, I'm Scott
5 Terrill. I'm a senior ornithologist with H.T. Harvey &
6 Associates, and we're a consulting firm, but we also do
7 basic research. Much of it funded by NSF and NOAA, and
8 that's primarily marine research. And one of our lead
9 scientists has been doing marine research in the
10 California Current for over three decades, so we have a
11 lot of experience with birds and other marine associated
12 life.

13 Okay. Well, we've -- everybody in this room and
14 probably online has seen the resource map, but obviously
15 there's a tremendous resource off the coast for offshore
16 wind. And I think it's important to point out that
17 although there are a number of projects in the Atlantic,
18 primarily off Europe, these projects are in relatively
19 shallow water, and they're near shore. And the projects
20 off California that are currently being considered are --
21 primarily involve floating platforms in deeper water, so
22 they're moving farther offshore, obviously, as opposed to
23 the existing -- most of the existing offshore wind
24 projects, which are in the shallow, near-shore water.

25 So the Outer Continental Shelf off the West Coast is

1 quite different than the offshore regions in Europe and
2 off the East Coast of North America. The shelf is
3 relatively close, and quite steep, and provides a lot of
4 topographic relief, and that topography creates highly
5 productive waters, so the California Current is one of
6 the most productive currents in the world. It's an
7 East/West current and it -- as it runs into the shelf, it
8 causes upwelling, which causes a lot of productivity.

9 And that topography is associated with hotspots,
10 which we call hotspots for birds and other animals. So
11 getting off of the shelf and putting windfarms out there
12 is, of course, a challenge for many reasons, not least of
13 which is the topographic (indiscernible).

14 Okay. All right. Thank you. So as Jeremy --

15 **FEMALE SPEAKER:** (Indiscernible).

16 **MR. TERRILL:** Yeah, yeah. Thank you very much. --
17 Pointed out, there are several considerations for
18 potential impacts to marine birds. And those involve
19 collision, displacement, the birds going around the
20 windfarms, and lighting.

21 Lighting is an issue for both terrestrial and marine
22 birds, and terrestrial migrants offshore presents an
23 issue for some areas. But as I'll tell you in a minute,
24 I don't think offshore California is one of the areas of
25 intense concern.

1 So let's talk about those first. Migrant
2 terrestrial birds. Many of these species migrate at
3 night. They're susceptible to lighting if there's
4 lighting associated with the offshore turbines, and the
5 lighting can create disorientation, cause collisions,
6 attraction due to inclement weather.

7 But the reason I mention that I don't think land
8 bird migration is going to be the same caliber of issue
9 that it is in the North Sea and elsewhere is that the
10 land bird migrants do not -- part of their normal
11 migratory pathway is not offshore because in the fall the
12 birds are going from the Northwest to the Southeast, and
13 in the spring they want to go up the coast. So whereas
14 the North Sea, and the Gulf of Mexico, and even the
15 Western Atlantic provide migratory pathways. And so in
16 those cases, land birds are an issue, but probably not a
17 major issue off California, especially for offshore.

18 So let's go ahead and move on, then, to marine
19 birds. And we discussed collision displacement, and
20 dysfunction of displacement, habitat loss if the birds go
21 around the windfarms. Are they going to lose valuable
22 habitat? And I mentioned lighting. There's lighting
23 issues for marine birds. Some of which are photostatic,
24 and they respond to light. And of course, you've already
25 got spills with maintenance with the platforms

1 themselves. Things like that, so we need to avoid
2 spills.

3 So there's been a lot of studies on birds in the
4 Atlantic, and as I've mentioned a couple of times, those
5 windfarms are very near-shore. And those studies are
6 applicable to some of the near-shore species off of
7 California, but as you get to the Outer Continental
8 Shelf, we're dealing with a whole different suite of
9 species than our near-shore or the Atlantic. And I'm
10 going to go into some of those differences because those
11 differences are highly relevant to analyzing potential
12 impacts.

13 And I'll also point out that the California Current
14 has one of the highest abundances and diversity of
15 seabirds of any places on the planet. And that's true
16 for what we call tubenoses, which are albatrosses, and
17 shearwaters, and petrels. And these represent some of
18 the birds that we need to learn a little bit more about
19 with respect to potential impacts over the Outer
20 Continental Shelf.

21 Most of these birds are farther offshore than the
22 near-shore species. A few of them are near-shore. And
23 sort of the overall -- some of the overall differences
24 that are relevant are the near-shore species, which are
25 on the right side of the slide, are typically birds that

1 fly low, except during some periods of migration. And
2 they are broad-winged, and they're considered flappers,
3 and so they flap rapidly. They have quite a bit of
4 maneuverability, and they're typically low to the water.

5 Whereas offshore, what we call gliders, typically
6 fly close to the water under low wind speeds. But as the
7 wind speed increases, the flight height of these birds
8 increases. And so this just gives you an idea of what
9 I'm talking about. The albatross, which is a classic
10 dynamic soarer -- and they tack, basically, against the
11 wind. So as the wind increases, they basically glide in
12 a high arc and drop down. And so the stronger the wind,
13 typically the higher they go.

14 These birds are built to utilize the wind to save
15 energy. They exploit highly dispersed and clumped food
16 resources. And a lot of times when you're out in the
17 pelagic zone, it's a long ways from one food resource to
18 another. And the way they find and exploit food
19 resources is using the wind. And the more wind, the less
20 energy they expend to traverse the ocean.

21 And I just want to mention, too, that many of these
22 tubenoses -- well, the vast majority of them don't breed
23 in the California Current. They breed in the Southern
24 Hemisphere or North of California, but they converge on
25 the California Current when they're not breeding because

1 of the incredibly high productivity.

2 So they've tasked me with highlighting, or
3 presenting, or proposing some of the areas of research
4 priorities that might be important to advancing offshore
5 wind, and the permitting of offshore wind. And Jeremy
6 mentioned risk modelling, and the report that he showed
7 you -- the modelling is a really good start on that, and
8 I'll get back to that in a minute.

9 And also, to expand a little bit on what Jeremy
10 said, what's really probably critical is development of
11 and implementation of remote monitoring technologies
12 because of all the difficulties that Walt mentioned about
13 getting out into the ocean, the expense, and the logistic
14 difficulties, etcetera.

15 And this is the BOEM model that Jeremy mentioned,
16 and it examined population vulnerability based on
17 collision and displacement, as well as the overall
18 population vulnerability of each species examined. And
19 so what we're identifying as one of the important next
20 steps is modelling using the species distribution and
21 abundance, and we have thirty years of data -- there
22 exists thirty years of data of height as a function of
23 wind speed for these species. And then creating a three-
24 dimensional model using the windscape, which is the data
25 on wind, the information of flight height and direction

1 by species, and the distribution and abundance, and
2 creating a 3D model. That model could be used, as Jeremy
3 indicated, for a broad scale examination up and down the
4 coast, or it can be used for site-specific examinations,
5 too. We have enough data probably, at this point, to be
6 able to do that. At least at the broad scale.

7 So I think it's important to point out that we need
8 the risk models. We need to develop monitoring
9 technology, but at this point we have no apriority
10 information about how these dynamic soaring birds are
11 going to response to offshore wind turbines. It's a
12 totally novel thing in the environment for these birds,
13 and so finding out how they respond is going to be
14 critical.

15 And that leads me to monitoring. So how do we get a
16 handle on behavioral response to these offshore wind
17 turbines? Well, observational monitoring is one way, and
18 there's a fair amount of observational monitoring in the
19 near-shore environment, and there's also radar, etcetera.
20 But you can do that from shore. But we're faced with all
21 of those issues that were raised earlier with respect to
22 access to the OCS, the expense of a boat-based platform
23 for observations, weather. You know, especially during
24 the late fall and winter when you just aren't going to be
25 able to get out there. So there're a lot of issues with

1 monitoring.

2 And that leads to the -- I think a really important
3 funding opportunity is to fund the advance of technology
4 to do remote monitoring. And currently in that vein
5 there are instrumentation technologies under development
6 right now. Radar, of course, exists, but developing
7 algorithms to put a radar unit out on the open ocean to
8 try to compensate promotion would be really important,
9 and apparently, it's possible. Optimal monitoring,
10 acoustic, and accelerometers. So these would be
11 instrumentation placed on the blades themselves which
12 would record an event, simultaneously take a picture of
13 that event, and hopefully ultimately determine what
14 species was involved.

15 And some of the consideration with doing any of the
16 instrumentation monitoring out there would be platform
17 stability, data streams, reams and reams of data that
18 would be collected, and getting this remote monitoring to
19 the point where you can identify species. That's a
20 challenge, too.

21 But just to give you a couple of examples right now,
22 Shari Matzner of PNNL has been working on a stereo
23 thermal video imaging system which can be used to
24 detect and following birds and bats in pretty much all
25 conditions because it's thermal. Right? So it detects

1 heat, so you can do this in fog, or drizzle, or what have
2 you. And the lab is working on developing a processing
3 algorithm so that we can classify the image to species,
4 hopefully. There's been some tested or done that's based
5 on mass, size, wingspan, wingbeat frequency, etcetera.
6 And so that definitely shows a lot of promise at this
7 point.

8 And going back to the vibration sensors on the
9 blades, etcetera, to actually detect and record a strike.
10 That's being done by Roberto Albertani, and Robert
11 Suryan, and Dr. Brian Polagye. Roberto's at OSU at the
12 Mechanical, Industrial, Manufacturing Engineering group.
13 Rob is at the Hatfield Marine Science Center, and Brian
14 is at the Northwest National Lab Marine Renewable Energy
15 Center.

16 So in summary, I think the most sophisticated
17 development of risk models on both a broad scale and can
18 be applied on a project scale, as well. And the
19 development of some of this remote monitoring technology
20 is quite important in terms of priority. I think that's
21 it.

22 **MR. STOMS:** All right. Thank you, Scott. That was
23 great. Great summary. And thank you, also, for making
24 the trip over here to present in person.

25 So now, hopefully our last speaker is Chris Potter

1 from the Ocean Protection Council, and they actually had
2 a council meeting in Santa Cruz today to vote on some new
3 research projects. The council was approving --
4 presumably presuming some new research projects, and he
5 was going to give us an update on that and kind of their
6 strategic thinking moving forward. And so it's going to
7 be a little challenge. You were able to find him?

8 **MALE SPEAKER:** (Indiscernible).

9 **MALE SPEAKER:** Oh, okay.

10 **MR. POTTER:** I'm here.

11 **MR. STOMS:** All right, Chris. Great. So I'll turn
12 it over to you, and you can give us an update.

13 **MR. POTTER:** Can you hear me?

14 **MR. STOMS:** Yeah. Yeah, you're good.

15 **MR. POTTER:** Oh, excellent. Okay. Well, good
16 afternoon, everybody. This is Chris Potter, and I'm the
17 marine renewable energy program manager for the
18 California Ocean Protection Council (indiscernible)
19 coastal policy arm of the California Natural Resources
20 Agency.

21 The Natural Resources Agency is a superagency in
22 California government consisting of (indiscernible)
23 boards, councils and conservancies managing California's
24 natural and cultural resources. Some of the departments
25 include the Energy Commission, Department of Fish and

1 Wildlife, State Parks, State Lands Commission, and the
2 California Coastal Commission. The OPC was created in
3 state law in 2010 to coordinate ocean and coastal policy
4 development for all of California state agencies.

5 So research priorities for the OPC, in the area of
6 marine renewable energy and especially wind, revolve
7 around tradeoffs or compatibility in environmental impact
8 considerations that will have to be weighed during the
9 planning for offshore wind in supporting infrastructure
10 development.

11 These tradeoffs and environmental considerations
12 include but are not limited to the loss of commercial
13 fishing grounds, especially for trawlers. California's
14 fishing communities and fishing fleets have been in
15 steady decline for decades. As such, we're concerned
16 about ocean-based energy projects that may place
17 additional stressors on fishermen, fishing grounds, and
18 fishing communities.

19 Proximity to state and federal marine protected
20 areas (indiscernible) is another consideration. Starting
21 in 2005 and ending in 2012, the state went through an
22 exhaustive (indiscernible) process to redesign
23 California's system of marine protected areas. The
24 function of the network in order to increase coherence
25 and effectiveness in protecting the state's marine life

1 and habitat may (indiscernible) recreational,
2 educational, and steady opportunities provided by marine
3 ecosystems (indiscernible). (Indiscernible)
4 investigation.

5 The whole (indiscernible) is foundational and
6 emblematic to our identity as Californians.
7 (Indiscernible) California from around the world to enjoy
8 its beaches and take in its sweeping coastal views. So I
9 wanted to note that coastal (indiscernible) 2016.

10 Compatibility with shipping is another major
11 concern. California is home to three of the largest
12 ports in the nation. The Ports of Los Angeles -- the
13 Port of Los Angeles is the busiest port in the U.S.,
14 followed closely by the Port of Long Beach, and the Port
15 of Oakland is the fifth busiest port in the nation.

16 And finally, compatibility with military operations,
17 research, and development. California is home to the
18 largest share of our country's military, a fact that is
19 largely lost behind perceptions of California as
20 America's bread basket, and a tourist paradise, a leader
21 in high-tech development and manufacturing, and an
22 international mecca for film and television. Department
23 of Defense, Homeland Security, and Veterans Affairs
24 collectively spent 47,000,000,000 in fiscal year 2016 and
25 directly employed 295 residents of California.

1 So there are significant challenges facing offshore
2 wind development in California. The number one challenge
3 is cost. Specifically, offshore wind will need to
4 compete in the market, and that includes photovoltaic
5 with solar. As we know, there's no caveat in the state's
6 RPS for offshore wind, and there's no official state
7 decision for or against offshore wind technology. In the
8 coming months and years, the state will undoubtedly need
9 to determine under what scenarios offshore wind and other
10 marine renewables will be needed to meet the renewable
11 energy targets set forth in SB-100, which was just signed
12 by the governor.

13 The technology risks off offshore wind are
14 relatively unknown on the West Coast environment. For
15 example, the sea floor off of California has a different
16 profile than that found in Europe and the East Coast. In
17 other words, it drops off quickly, meaning that flooding
18 technology will be required. Environmental concerns are
19 also some of the unknowns. For example, what is the
20 impact of offshore wind on avian and marine life water
21 quality? How loud will construction or operation be?
22 Will there be any navigation hazards? We're also just
23 beginning to understand the potential impact of climate
24 change in ocean de-acidification on ocean conditions.

25 California has a complex regulatory regime that

1 includes state and federal agencies with overlapping
2 jurisdictions and responsibilities. Specifically, there
3 are seven state agencies and seven federal entities that
4 would be involved in permitting an offshore wind
5 development, as well as cities and counties with local
6 jurisdictions. There are also tribal entities who may be
7 involved. There are 184 in California, of which 150 are
8 federally recognized, and about a third are located on
9 the coast.

10 Last, local governments may have permitting
11 authority under the California Coastal Act and the
12 California Environmental Quality Act. Transmission
13 summaries to the state is a major impediment in bringing
14 electricity generated by renewables to market. The
15 greatest offshore wind resource in California are off the
16 North Coast. The region of the state is not in close
17 proximity to major load centers, nor does it have the
18 transmission capability to accommodate large commercial-
19 scale projects.

20 And last but not least, grid regionalization
21 certainly has implications for marine renewables. AB-
22 813, a bill that sought to expand California's electric
23 grid and integrate it with the transmission systems of
24 neighboring states, was rejected on August 31st by the
25 California Legislature. It's highly likely that the

1 Legislature will take up this issue again next year
2 during the new legislative session.

3 So in closing, I just wanted to talk about -- to the
4 studies that were funded by the OPC today. The first is
5 a research project entitled the California Offshore Wind
6 Workforce and Wind Integration Analysis. It'll be
7 conducted by UC Berkeley, and the time frame for
8 completing it is approximately nine months. This project
9 will produce and disseminate research about potential job
10 gain, quality of jobs, and employment impact on
11 underserved communities under various offshore wind
12 scenarios. It will also model and analyze degrees to
13 which offshore wind supply could address California's
14 grid balancing and resource adequacy issues, and how
15 offshore wind would integrate with other renewable energy
16 resources. We'll also analyze various scenarios of
17 offshore wind development to better understand the impact
18 of offshore wind on the state's renewable energy
19 portfolio.

20 And the second project is an offshore wind study --
21 is a North Coast offshore wind feasibility analysis.
22 This project consists of seven modules, four of which
23 will be funded by the OPC. Specifically, the OPC will
24 fund modules that investigate on the following areas:
25 likely and potential environmental impacts of offshore

1 wind development on the North Coast, coastal
2 infrastructure modifications and their impact on ocean
3 environment climate resiliency in local stakeholders,
4 three, stakeholder benefits and impacts, and four,
5 implications of federal, state, and local policy in
6 regulatory decisions under consideration that relate to
7 the development of offshore wind energy in California.
8 And I think I failed to mention that the North Coast
9 offshore wind feasibility analysis will be conducted by
10 Humboldt State University.

11 So that is the extent of my comments. I hope it
12 came across well enough. I'm sitting on a bench here in
13 Santa Cruz. (Indiscernible) less ideal situation.

14 **MR. STOMS:** Yeah. Thank you, Chris. You did fade
15 in and out a little bit, but we appreciate the effort to
16 be able to contact us today.

17 I have just one quick follow up question. Are
18 the -- you talked at the end there about the two
19 projects. Is that a one-time only kind of funding
20 opportunity at OPC --

21 **MR. POTTER:** No --

22 **MR. STOMS:** -- or do you see that as ongoing?

23 **MR. POTTER:** Right. Yeah. If I had to prepare my
24 comments over again, I would talk about what we're
25 thinking about in the immediate future, and that is doing

1 some type of tradeoff analysis. We are talking to some
2 NGOs about scoping that work out and what make sense in
3 terms of a time frame because I think, you know, there's
4 probably a need for information for the North Coast
5 before other parts of the state.

6 **MR. ALDAS:** Okay. Thank you so much. Thank you,
7 David, Jeremy, Scott, and Chris. I think at this point
8 I'd like to open the floor for open discussion, comments,
9 or questions. Preferably starting with questions for
10 this panel, and then any general comments you have to
11 this topic. What I'll do is start from here in the room,
12 and then I'll lead up to online participants. For our
13 Webex participants, you can either type in your questions
14 or use the raise hand button and we will unmute you.

15 All right. Any comments, questions in the room?

16 **FEMALE SPEAKER:** I actually have a question for you
17 on the process of Silvia with the date needed for
18 comments. It's coming up quite quickly, and I have a lot
19 that I would like to offer. How strict are you on that
20 date, and what's driving it, exactly?

21 **MR. ALDAS:** We are not very strict on that date, and
22 we will entertain your comments even a few days or
23 several days after that. And what's important for us are
24 your comments and feedback.

25 **MS. MILLS:** Hi. Thanks. I'm Danielle Mills with

1 the American Wind Energy Association. I just had a
2 couple of questions. A couple people mentioned
3 transmission constraints, both -- well, specifically with
4 regard to offshore wind, but I also wonder if the
5 commission has considered doing any additional research
6 on transmission cost and availability onshore and
7 regionally, and how that might compare to next generation
8 wind costs in California, including offshore wind. I
9 hope that's clear.

10 **MR. ALDAS:** All right. Anybody want to comment on
11 that? What we'll do is we'll take that question, we'll
12 put it as part of the proceedings of this, and we will
13 put it in our summary (indiscernible). Thank you.

14 Any more questions or comments in the room? Okay.
15 Let's go to our questions from Webex participants.

16 **MALE SPEAKER:** This question is from Claire Warshaw.
17 What happens to ocean algae in the area of large-scale
18 wind turbines? Can lighting that algae is not disturbed
19 by be considered? I'm guessing the already existing
20 offshore windfarms show that algae and coral adapt. Some
21 algae, for example, probably significantly contributes
22 more to sea wildlife plus oxygen, and California seaweed
23 farming might be an idea to consider.

24 **MR. ALDAS:** Okay. I don't know if anybody from
25 panel would like to respond. Otherwise, it's part of our

1 proceedings, and we'll note the questions.

2 **MALE SPEAKER:** Okay. Jilal Abetty (ph.) has a
3 question for the last panel -- previous panel. Any
4 future development for offshore wind energy in state
5 water?

6 **MR. STOMS:** So that's really a policy and market
7 question, and so I don't know that we can really comment
8 on that at this workshop or could even provide the
9 correct answer to that question. I haven't seen or heard
10 of any real proposals or push -- well, Walt probably
11 knows of if there was any efforts in state waters, but
12 most of the resource seems to be further offshore.

13 **MR. ALDAS:** Thanks, David.

14 **MALE SPEAKER:** And Deepak Rajan has a question for
15 the previous panel, as well. Given the explosion of
16 turbine choices, numbers, types, and heights in future
17 large wind sites, what are the challenges in determining
18 the best layout of turbines? How do we even define best?

19 **MR. ALDAS:** Looks like that's a question for the
20 previous. I wonder if either Michael or Kevin would like
21 to comment?

22 **FEMALE SPEAKER:** Michael.

23 **MR. DERBY:** Certainly, that's part of what we've
24 been working on at the Department of Energy under our
25 Atmosphere to Electrons program. We have a effort that's

1 called wisdom. It's really designed to come up with
2 optimum solutions for wind plants considering not only
3 how they're laid out, what height turbines, what size
4 turbines. It all takes in cost into consideration. It's
5 not just the technical potential of the windfarm and how
6 much energy it produces, but what it costs to produce
7 that energy. And our expectation is this model that
8 we've developed is going to be taken up by industry and
9 used for helping to site future wind plants.

10 **MR. ALDAS:** Thank you. Do we have any more
11 questions? Any raised hands? Okay. So I think at this
12 point -- do we have any more sides to show? Okay. I
13 think at this point I would say -- I will thank everyone
14 from the first speakers all the way down to the last
15 panel.

16 So what we'll do -- what we'll do is that we will
17 gather all the comments and feedback. The Webex is
18 recorded, so we'll have somebody to kind of transcribe
19 that to make sure we don't miss any points, or questions,
20 or comments that were raised, and then we will enter the
21 additional read-in comments by our dockets. So we
22 mentioned November 1st, but I also mentioned a while ago
23 that's not a strict deadline. If you have comments that
24 you want to send after that day, we, of course,
25 definitely look into that.

1 I mentioned that we will pose the presentations
2 after this workshop, so we'll do that. I guess we will
3 touch back our panelist speakers just to make sure that
4 they are okay with all the slides that are submitted to
5 us and give the opportunity to refine or trim down if
6 they want to. Preferably, this is the same presentation
7 that they presented today.

8 And then I guess any more that we --

9 **DR. PALMA-ROJAS:** Also just to add to that, we are
10 planning to pass out a summary of the workshop with the
11 main feedback and comments. And also, if you can use the
12 dockets system to submit your comments, also will be
13 great. It will be easy for us to compile all the
14 comments, so the information is on the screen how we can
15 go and submit the comments.

16 **MR. ALDAS:** Okay. And with that, I would like to
17 thank, again, everyone. This is the end of the workshop.
18 I will you all have a safe travel back and have a good
19 rest of the day. Thank you.

20 (End of Recording)

21

22

23

24

25


1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

TRANSCRIBER'S CERTIFICATE

STATE OF CALIFORNIA)
)
COUNTY OF SACRAMENTO)

This is to certify that I transcribed the foregoing pages 1 to 131 the best of my ability from an audio recording provided to me.

I have subscribed this certificate at Phoenix, Arizona, this 8th day of November, 2018.



Julie Chandler
eScribers, LLC

--o0o--