

DOCKETED

Docket Number:	18-IEPR-06
Project Title:	Integrating Renewable Energy
TN #:	226036
Document Title:	2018 IEPR Commissioner Workshop
Description:	IEPR Commissioner Workshop on Renewable Integration and Electric System Flexibility
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	12/7/2018 8:23:42 AM
Docketed Date:	12/7/2018

BEFORE THE
CALIFORNIA ENERGY COMMISSION

In the Matter of:) Docket No. 18-IEPR-06
)
2018 Integrated Energy Policy) Integrated Renewable
Report Update (2018 IEPR Update)) Energy

IEPR Commissioner Workshop on
Renewable Integration and Electric System Flexibility

CALIFORNIA ENERGY COMMISSION
HEARING ROOM A, 1516 NINTH STREET
ART ROSENFELD HEARING ROOM
SACRAMENTO, CALIFORNIA

WEDNESDAY, JUNE 20, 2018
10:03 A.M.

Reported by:
Julie Link

APPEARANCES

CEC

Commissioners Present

Robert B. Weisenmiller, Chair, Lead Commissioner for
Electricity and Natural Gas
David Hochschild, Lead Commissioner for the 2018 IEPR
Update, Energy Efficiency
Karen Douglas, California Energy Commission
Andrew McAllister, California Energy Commission

CEC Staff Present

Heather Raitt, CEC, IEPR Program Manager
David Vidaver, CEC

Presenters

Clyde Loutan, California ISO
Neil Millar, California ISO
Michele Kito, CPUC
David Vidaver, CEC
Amber Mahone, E3
Doug Marker, Bonneville Power Administration
Lou Fonte, Senior Advisor, Grid Assets, California ISO
Alex Au, CTO, NextTracker
Josh Weiner, CEO, SepiSolar
Sandra Burns, PG&E
Abtin Mehrshahi, CEC
Natalie Lee, CEC

Panelists

Scott Blunk, Sacramento Municipal Utility District, SMUD
Sabrina Butler, San Diego Gas & Electric
Anna Chung, Southern California Edison
Gabriel D. Taylor, California Energy Commission
Arthur Haubenstock, California Efficiency + Demand
Management Council
Grant McDaniel, Wellhead Power Solutions
Douglas Black, Lawrence Berkeley National Laboratory
Jason MacDonald, Lawrence Berkeley National Laboratory
Shana Patadia, ChargePoint
Rohan Ma, Tesla

Public Comment

1. Steve Uhler
2. Valerie Winn, PG&E

I N D E X

	Page
Introduction Heather Raitt	6
Opening Remarks	
Chair Robert B. Weisenmiller, CEC	7
Commissioner David Hochschild, CEC	8
Commissioner Karen Douglas, CEC	9
Speakers:	
Renewable Integration Update	
By: Clyde Loutan, California ISO	9
Discussion	33
ISO Summer Assessment	
By: Neil Millar, California ISO	41
Update on Resource Adequacy	
By: Michele Kito, CPUC	57
Recent and Planned Natural Gas Retirements	
By: David Vidaver, CEC	65
Deep Decarbonization in a High Renewables Future	
By: Amber Mahone	73
Update on Informational Study of Increased Capabilities for Transfers of Low Carbon Electricity Between the PNW and California	
Neil Millar, California ISO	86
BPA - Renewable Integration and Electric System Flexibility	
Doug Marker	90
(Recess at 1:01 p.m., until 1:07 p.m.)	
Integrating Solar	
By: Lou Fonte, California ISO	96
Flexible, Renewable, Curtailment-Proof Baselod	
By: Alex Au (& John Weiner on WebEx)	105
How PG&E Is Approaching Curtailment Issues from Contracting Perspective	
By: Sandra Burns, PG&E	114
Energy Commission's Inverter List	
By: Abtin Mehrshahi & Natalie Lee, CEC	121

I N D E X (Cont.)

Break 135

Flexible Loads and Resources Update

Panelists:

Flexible Loads:

Scott Blunk, Sacramento Municipal Utility District - Load flexibility: SMUD's water heater cycling pilot project 135

Sabrina Butler, San Diego Gas & Electric - Initial observations on time-of-use rates 141

Anna Chung, Southern California Edison - Flexible demand response procurement (via WebEx) 147

Gabriel D. Taylor, California Energy Commission - Building Energy Standards & Demand Side Efficiency 148

Arthur Haubenstock, California Efficiency + Demand Management Council - The Council's Key current and upcoming load management activities 155

Flexible Resources:

Grant McDaniel, Wellhead Power Solutions - The performance of Wellhead's hybrid gas-storage Projects 172

Douglas Black & Jason MacDonald, Lawrence Berkeley National Laboratory - A case study in V2G (Vehicle to Grid): The Los Angeles Air Force Base project 177

Shana Patadia, ChargePoint - Next-Generation Grid Communication for PEVs: a pilot project 184

Rohan Ma, Tesla - The performance of large-scale battery energy storage: the Hornsdale Power Reserve, South Australia 192

I N D E X (Cont.)

Public Comments	203
Closing Remarks	206
Adjournment	207
Reporter's Certificate	208
Transcriber's Certificate	209

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

P R O C E E D I N G S

JUNE 20, 2018 10:03 a.m.

MS. RAITT: Welcome to today's IEPR Workshop on Renewable Integration and System Flexibility. I'm Heather Raitt, the Program Manager for the IEPR. I'll go over our usual housekeeping items. If there's an emergency and we need to exit the building, please follow staff to Roosevelt Park, which is across the street, diagonal to the building.

And our meeting is being broadcast through our Web-Ex Conferencing System and we'll have an audio recording posted on our website in about a week, and a written transcript in about a month. We do have a very full agenda, with lots of wonderful presentations.

And so we'll be giving folks reminders on timing, and Kaitlin will just put a little sign up when you have two minutes left and when time is up. At the end of the day we have an opportunity for public comments.

We'll limit those to three minutes per people -- per person, and we'll take folks in the room first, and then on Web-Ex and on the phone. And if you want to -- if you're in the room and you

1 want to make a comment, go ahead and fill out a blue
2 card and give it to me, or Public Advisors in the
3 back of the room.

4 Meeting materials are all posted -- yeah --
5 nearly all posted on our website, and they're
6 available in hard copy at the entrance to the
7 hearing room. And written comments are welcome and
8 they will be due on July 5th, and the notice gives
9 you all the information for providing written
10 comments.

11 So with that, I'll turn it over to the
12 Commissioners.

13 CHAIR WEISENMILLER: Good morning. This is
14 a follow-up to a Workshop we had last year. And in
15 the Workshop last year we looked at what the
16 operating statistics were for the CAL ISO, a pretty
17 clear message of, you know, basically the duck belly
18 getting lower, ramps getting steeper.

19 And at the same time we then looked at a
20 wide range of options of what we could do to sort of
21 address some of the renewable integration issues.
22 But at that point it didn't appear that any of them
23 were anything but conceptual or experimental.

24 You know, even one of the more interesting
25 slides from the last year's IEPR was that our demand

1 responsibilities have gone down, you know, I mean,
2 in spite of massive pushes to make it go up. So
3 today's effort, I really want to focus on not just
4 the options, but what are we doing to actually
5 implement the options going forward.

6 COMMISSIONER HOCHSCHILD: Well, good
7 morning, everyone, and thank you to the Chair for
8 his leadership on this issue, and for staff and
9 stakeholders for organizing and attending this
10 morning.

11 Just to set the stage, I think many of you
12 probably saw the article in the Wall Street Journal
13 last week showing basically annual spending on
14 renewables is now about 300 billion, and all fossil
15 and all nukes combined are about 150 billion.

16 So the trend really is towards renewables,
17 and the question is really how do we make that work
18 and how do we successfully integrate. And I think
19 the main message of the year and of the era I think
20 is that everybody and every device, every project
21 has to be a good citizen of the grid and work to
22 make the grid stable and successful.

23 And I think there's a lot to be done in
24 this area, and I really appreciate, again, the
25 Chair's leadership on this, this effort.

1 COMMISSIONER DOUGLAS: Yeah. I'll just
2 add, I'm delighted to be here, and obviously,
3 following these issues closely, as well, and very
4 much looking forward to going from concept to
5 implementation and deployment. Thanks.

6 MS. RAITT: Great. So our first speaker is
7 Clyde Loutan, from the California Independent System
8 Operator.

9 MR. LOUTAN: Good morning. Thanks. Once
10 again, my name is Clyde Loutan. I work at the
11 California ISO, and basically in charge of
12 Renewables Integration to the technical studies.
13 Also, I get involved in looking at the system
14 performance on a minute by minute basis to see where
15 it is we have control performance issues.

16 So with that -- this one. Okay. I'll talk
17 a little about the status of the system right now,
18 some of the operational challenges we see, some of
19 the opportunities, solutions and then open this up
20 for questions.

21 So some of you may have seen this. We all
22 know that the grid is going through a major
23 transformation right now. And each one of these we
24 can plan on at least a day -- each one of these
25 green boxes.

1 But basically, what I'm going to cover
2 today is really the 33 percent RPS target. Right
3 now, where we are in terms of renewables, what it is
4 we see on the grid, again, so many challenges and
5 how we plan to deal with some of these operational
6 challenges.

7 So before we really get started, we have
8 some pretty interesting days, starting with peak
9 last year, September 1st, and then we had three
10 interesting days this year I'd like to talk about,
11 so we can see, again, some of the challenges we
12 have.

13 Now, a lot of us have seen this curve in
14 the past. It's still valid, and so many things, you
15 know, we look at this curve, but it is -- a lot of
16 folks do not really understand what the message this
17 curve tries to convey.

18 So again, each one of these curve is really
19 the net load, which is your load minus wind
20 production, minus solar production. And as you can
21 see, back in 2012, 2013 time frame, and it was
22 pretty plant. It was pretty easy to predict.

23 Then as more and more solar came on we had
24 anticipated the belly of this duck to drop by about
25 12,000 megawatts by 2020. When we initially did

1 this one of the things we completely under-
2 forecasted was the growth in behind-the-meter
3 rooftop PV.

4 So as you can see, right now we're about
5 four years ahead of our schedule. When we presented
6 this last year, when we looked at the ramps, the
7 three-hour ramps we presented was 12,960 megawatts,
8 and we thought that was low.

9 In a little over a year you can see this
10 here, back in March, we saw a ramp almost 15,000
11 megawatts, a three-hour ramp, and that's huge. And
12 one of the biggest challenges is that net load, the
13 belly of this duck.

14 As I said, we had anticipated this dropping
15 to 12,000 megawatts by 2020. When we presented this
16 last year it was a little over 9,000 megawatts and
17 in less than a year it dropped to 7,000 megawatts,
18 7149 megawatts.

19 Now, why is this an issue? So when you
20 start thinking about California and the diverse
21 resource mix, what happens is when you start looking
22 at what makes up the generation portfolio up to that
23 minimum net load, so when you look at your two
24 nuclear plants and your geothermal and your biomass,
25 your biogas, running river hydros, CHPs, you're

1 pretty close to about 8,000 megawatts.

2 So when the net load drops anywhere below
3 10,000 megawatts we start to see operational
4 challenges in terms of negative prices, we started
5 to see things like oversupply on the system. Then
6 when you think about you have a huge ramp coming in,
7 as you know, during sunset, you can see how
8 difficult it is to commit resources to meet that
9 ramp when you're already in an oversupply situation.

10 So essentially, what I'm trying to convey
11 here is during a weekend when the net load drops
12 below 10,000 megawatts, you need to cautiously, you
13 know, commit your faster ramp in resources to meet
14 this huge ramp that's coming at you on evenings.

15 So the alternative is, you know, unable to
16 meet this peak during some time periods. So again,
17 we this huge ramp increasing again. This year it
18 was 14,777 megawatts; deeper belly. It's a concern.
19 And then last year with the amount of hydro we had
20 we started to see a new problem emerge, which is
21 during sunrise.

22 Now, during sunrise what we saw is the
23 solar was coming up in some cases twice as fast as
24 the load was increasing. Now, when that happens it
25 causes, you know, system frequency to go high. It

1 causes prices to go negative, and a control problem.

2 So when I say a control problem, as a
3 balancing authority we have an obligation to help
4 control the connection frequency, and we do this on
5 a minute-by-minute basis. Even though we dispatch
6 units through automatic generation control every
7 four seconds, we do a calculation every minute to
8 see how well we control inter connection frequency.

9 So these are the three things, you know,
10 that Doug really tried to convey, one, steep ramps,
11 second, how low the belly is going to drop, which
12 shows the potential for oversupply, and then now,
13 solar coming up so fast during sunrise we started to
14 see an additional problem.

15 And then when you take an overall look of
16 the duck, it really conveys the need for flexibly
17 capacity on the system. So with that, on September
18 1st last year we peaked, and we peaked at 50,116
19 megawatts.

20 When you look at this plat, the black curve
21 is really your load on the system. The dash red is
22 net load. So we still peak right around four --
23 between four and five, and that has been the case
24 for a long, long time, because California is
25 primarily driven by air-conditioner loads during the

1 summer months.

2 So you can see what happens now. Now, when
3 you peak right around 4:00 o'clock, or between 4:00
4 and 5:00, the net load -- or the solar side's
5 dropping off and the net load still increases. So
6 what happened September 1st is we started to see
7 now, and on some more days during the summer months,
8 is that peak extends to about three hours after your
9 peak.

10 So even though the peak dropped off by
11 roughly 3,000 megawatts, we lost about 7200
12 megawatts of solar. This is expected to get even,
13 you know, worse as more and more renewables come
14 onto the grid. So sustaining this peak after your
15 true load peak is now a challenge.

16 We were able to get a lot of that -- or
17 meet a lot of this excess peak or should I say peak
18 shift as the solar dropped off from the interties.
19 One of the concerns we have right now is if this was
20 a hot day throughout the west, then getting this
21 excess energy from neighboring balancing authorities
22 could be a challenge.

23 On this day it was cool along the coast.
24 So we were able to get energy interties. And when
25 you look at this plat also you can see meeting peak

1 demand we rely a lot on the thermal resources, hydro
2 resources and the interchange today.

3 What's interesting on this plot, too, is we
4 could not rely on the wind to help any meeting this
5 peak. So looking at a second interesting day here,
6 this is when our net load dropped to 7149 megawatts.
7 Again, this was February 18th, and we had a lot of
8 wind and a lot of solar on the system during that
9 day.

10 And when you look at the red area on the
11 very top, this is how much energy we curtailed,
12 because we had oversupply situations; the prices
13 went negative. And some people, you know, keep
14 asking, well, how come you guys still had energy
15 coming in on the ties when you have negative prices
16 and we were in an oversupply situation.

17 Well, when you start thinking about
18 entities within California, they have jointly owned
19 units outside California, like Palo Verde. It's
20 jointly owned by entities within California. You
21 got Hoover. And then we got about 2500 megawatts of
22 contracts for renewables from entities in-state with
23 renewables out of state.

24 So most of this energy will come in real
25 time when you'll see solar is producing or wind is

1 producing depends on the reason why you'd see flows
2 coming in, even though you have an oversupply
3 situation on some days.

4 Again, on this day we had a lot of wind.
5 We had a lot of solar. And this three-hour ramp
6 following this minimum net load, it's a lot. It was
7 about 1300 -- almost 13,600 megawatts in three
8 hours. Again, when your minimum load is this low,
9 when you look at committed resources internally to
10 meet that ramp, it's something that you really
11 cannot do, because you aggravate that oversupply
12 situation.

13 So when you look on this day, we had almost
14 62 percent of the energy coming in on the ties to
15 help meet this three-hour ramp. So this is
16 something we need to closely look at. How are we
17 going to meet these huge ramps, which is expected to
18 increase, you know, as more and more renewables come
19 onto the system, primarily solar.

20 When you think about rooftop PV, it's not
21 really a one-for-one, but the rooftop PV addition
22 lowers the black line, which is your load, and it
23 ultimately impacts net load that we see on the
24 system from a transmission perspective.

25 One tidbit here is try to control the grid,

1 a thing I'd covered out in about two slides down.
2 And the last plot I wanted to show is when we
3 experienced the largest three-hour ramp, which was
4 14,777.

5 On this day, again, we could not rely on
6 the wind. When you look at it, the wind was
7 practically nothing. And this was way back in
8 March. And some folks think, well, only on hot days
9 you don't see the wind blowing.

10 Well, this was a good example where, again,
11 we have to rely a lot on the inter ties to help meet
12 this ramp. Now, when the net load is high, like in
13 this case it was about 10,000 megawatts, you could
14 commit some dispatchable resources.

15 So you can see we did commit some thermal
16 plants to help with that ramp. But when that net
17 load drops like the previous slide, when it drops
18 really low, it's difficult to commit resources and
19 you have to rely more on the ties to help meet this
20 three-hour ramp on evenings.

21 Again, looking at this a different way, on
22 this plot, this is page 9, when you're looking at
23 the red dots, those are really the peak that we saw
24 on those days. So looking at these three days we
25 started to see now, in the old days we had, you

1 know, 10-12 to meet the peak demand on a day.

2 So starting from about 4:00 a.m., whenever
3 you peaked you had a lot of time to commit slow
4 resources to meet the peak demand. Now, when you
5 start looking at this and you look at that blue bar
6 it really tells you now, 50 percent or more of your
7 demand, you need to get that in three minutes.

8 And when you start looking at this a little
9 closer, which is the orange bars, it tells you on
10 some days over 70, like on March 4, at the one-hour
11 we had to ramp 7500 megawatts. And that's a lot of
12 ramp.

13 When you -- to put this in perspective,
14 7500 megawatts is more than one and a half times
15 SMUD's peak load. So trying to move that amount of
16 energy in a short period of time, it's a lot. And
17 then you got to do this judiciously.

18 It's not -- when you try balancing supply
19 and demand, some folks think, well, if let's say
20 you're looking at five minutes or 10 minutes, if
21 everything is balanced then you're fine. Well, I
22 have a couple plats to show you it's not.

23 Now, when you're looking on the good side,
24 when you look at the percentage of load met by wind
25 and solar on some days, even though on September

1 1st, 2017, was a peak day, we have 24 percent of the
2 energy supplied for just about a minute from just
3 wind and solar.

4 Then when you look at geothermal, biomass,
5 biogas, all the RPS resources it was about 30
6 percent. And then when you look at the last hydro
7 and the nuclear plants it was about 44 percent.
8 What really struck us was last -- two weeks ago on
9 May 26th we saw a 64 percent after load served by
10 wind and solar.

11 And then 93 three percent from noncarbon
12 resources, and that's pretty impressive, you know,
13 when you look at these numbers. Then looking at
14 this across a whole day is another way to look at
15 it, and I'm not going to go into all, but on May
16 26th 34 percent of the energy for the whole day was
17 served by just wind and solar.

18 Forty-four percent was served by renewables
19 and almost 66 percent from noncarbon emitted
20 resources. So again, these are pretty high normals,
21 and it's pretty impressive, being able to control
22 the grid with so much renewables.

23 In terms of carbon remission over the past
24 four years, we saw a reduction of about 24 percent.
25 So far this year, 2018, we had one Diablo unit out

1 back in March time frame. Also, we had more hydro
2 back in 2017, so -- which shows you that upward tic
3 in the red curve.

4 So we expect that to drop as, again, with
5 Diablo and more and more renewables on the system.
6 Moving along, some of the observations we had
7 looking at some of these days, we have been seeing,
8 you know, renewables serving more and more load.
9 Renewables gas decreasing and it's down to about 24
10 percent.

11 Minimum net load continues to drop. Also,
12 curtailments is continuing to increase. And so
13 we're taking a close look at trying to see how we
14 could minimize curtailment. Ramps are increasing
15 and it's expected to get, you know, larger.

16 During the spring months it depends on the
17 net load. If net load's low we rely a lot on the
18 inter ties to bring or to meet some of that ramp,
19 and if net load's high we could rely on some of the
20 internal resources to help you meet that demand.

21 Now, this plat here is pretty impressive.
22 I'll spend, you know, a little time trying to
23 explain what it means. Now, unlike other places,
24 you know, like Europe where they operate, they do
25 not have the control performance standards we have

1 to comply with in the U.S.

2 We have strict standards that the operators
3 need to abide by. We have to meet. Also, you know,
4 it comes with noncompliance for some of these
5 matrices comes with hefty fines. So on this plat
6 what we really wanted to show here is that green
7 line is 100 percent.

8 So when, as the balancing of our day in the
9 west, we got 38. So we have an obligation to
10 supporting the connection frequency, as I said,
11 every minute. So every minute we do a calculation
12 to see, did we really help support inter connection
13 or did we lean on the inter connection.

14 So if for one day you see on this day, on
15 January 31st, we had 11 hours where it was red and
16 the remaining hours was blue. Now, whenever you see
17 blue that means we supported the inter connection
18 frequency.

19 When it's read it shows we have a tendency
20 to lean on the rest of the inter connection. Now,
21 that red curve is really net load, which again, is
22 load management minus hour. So when we started
23 looking at this, I remember back in -- the 31st,
24 this was a weekend and not Monday, I was telling one
25 of my co-workers, you know, I said, we have a lot of

1 challenges on controlling the grid over the weekend.

2 And he asked me two things. He said, one,
3 did we drop load, and I said no. Secondly he said,
4 did we go into a stage emergency. I said no and
5 then he says, well, what's wrong. Well, a lot of
6 folks does not realize system operators have, as I
7 said, an obligation to control the system.

8 Now, on one day we could 11 hours where
9 let's say we lean on the inter connection.
10 Tomorrow, we can have eight hours where it's, you
11 know, pretty hard. Nope, does not say you need to
12 meet the standard 24 hours, 24/7. Right.

13 Well, so some days you may have a bad day,
14 but what we started doing on the ISO is we took a
15 proactive approach where we started looking at this
16 matrix on an hourly basis. Now, for compliance, if
17 you look at this at the end of the day your score
18 would be over 100 percent most of the times.

19 If you look at this across a month it would
20 be over 100 percent. But currently, when you look
21 at it, this is what we're reporting out, is how well
22 we did over the past 12 months, rolling average.
23 Our score right now is about 120 percent, which is
24 really good.

25 But by us looking at this matrix on an

1 hourly basis we can tell where we can potentially
2 see problems. So now, on this day for 11 hours we
3 have problems. When you solved overlying things
4 like wind and solar, like on this says, over --
5 everything above that green line is good. Below
6 that green line is bad and our target performance
7 should be that green line.

8 Now, when you look at wind and solar on
9 that day you can see a pattern, right. When this is
10 -- it was windy. It was gusty. So when you have
11 variability of wind, which is green, and you see you
12 lost 1700 megawatts in less than half an hour, then
13 you kicked up 2200 megawatts again in half an hour,
14 you can see how difficult it is to control the grid.

15 Now, in order for everything to work right
16 you got to be able to forecast this dead-on
17 accurate, and remember, too, in the old days when we
18 controlled the grid you had controllable supply and
19 you had predictability math.

20 Today, in California the load is no longer
21 predictable because you got things like plug-in
22 electric vehicles demand response, you know, energy
23 efficiency. So it's making it a little more
24 challenging, even combining heat and power, right,
25 causes some challenge in forecasting what that

1 load's going to be.

2 It's no longer temperature dependent as it
3 used to be. And then, of course, you know, electric
4 vehicles and then the big gorilla in the room now is
5 rooftop PV. So while we control the grid today, on
6 some weekends we have 25 percent after supply we
7 don't see, which is rooftop PV.

8 And trying to maintain a balance between
9 supply and demand, and we do this as I said every
10 four seconds, it's -- is becoming a challenge right
11 now. So again, this is what we see on some days,
12 you know. And then stepping back, you may have a
13 good wind forecaster, you may have a good solar
14 forecaster, you may have a good load forecaster and
15 a good rooftop PV forecaster, but when you put all
16 four together a day ahead, try to predict what it's
17 going to look like 24 hours from now, it's pretty
18 difficult.

19 Some days you can get it right. Some days,
20 you know, the errors can add up. When it adds up
21 you have a control performance issue. So looking at
22 this plot, you can see for the first four months of
23 this year, looking at every day, where we tend to
24 see problems.

25 And you can see something that's pretty

1 distinct. During sunrise and during sunset we tend
2 to see challenges controlling the grid, right. As I
3 said, this is not a problem today. It's a potential
4 problem.

5 NERC started to look at this pretty close.
6 As a matter of fact, NERC started -- and you have a
7 severe out where they want all balancing authorities
8 in North America to do a study on their system to
9 see, as more and more renewables come on, do they
10 have or do they anticipate ramping problems.

11 Now, three -- about three and a half years
12 ago when we started at NERC saying hey -- we started
13 to see some unique problems with solar, especially
14 during sunset, but nobody understood what that
15 meant, because nobody else had the amount of solar
16 that we had out west.

17 And then NERC created this Essential
18 Reliability Task Force to look at what would it take
19 to degrade more and more renewables onto the grid.
20 And everybody knows the first two, right. One is
21 frequency control. Second is voltage control.

22 And then out west we said, you know, we
23 started to see a ramp run up. We have a ramping
24 issue. If you go back and look at the report that
25 was published by NERC in 2013, the whole section on

1 the ramping issue was done by the California ISO,
2 because we were the only entity starting to see a
3 ramp issue in the country.

4 Well, ironically, last year we had Duke
5 Energy, NorCal Energy, they came out. They wanted
6 to say, we want to see all these studies you guys
7 did, because now they have 13 megawatts of wind --
8 I'm sorry -- solar, and they have a ramp issue.
9 They have some concerns.

10 So it started out west, starting
11 propagating back east, and by first looking at the
12 system on this granular level, now we know where we
13 have problems. Now, we can look for potential
14 solutions to address this.

15 So when it comes to control performance,
16 this is something that, you know, I know a lot of
17 folks here, well, they do this in Europe. They have
18 a lot more wind. They have a lot more solar on the
19 system, but again, they do not have the control
20 performance standards that we do.

21 Under the U.S. we got four standards that
22 we have to comply with in real time. And again, if
23 you fail one of these it comes with hefty fines.
24 This one here is looking at the ability to control
25 the system frequency on a minute-by-minute.

1 There's another one that we have 15
2 minutes. Anything goes wrong in the system we got
3 15 minutes to get the system to where it was just
4 prior to that event. Fifteen minutes and four
5 seconds is late and you get hefty fines.

6 In addition to the hefty fines that you get
7 by NERC and FERC. The west, they make you carry
8 three months' excess reserve, and that's costly.
9 And again, there's another standard why now in the
10 old days we could dispatch contingency reserve to
11 meet a contingency if something happens in the west.

12 A year and a ago FERC had this new standard
13 where now, anything happens from Colorado all the
14 way out west, any unit greater than 500 megawatt
15 that's lost, we have an obligation; we have 52
16 seconds to meet that obligation.

17 So when we operate a lot of folk things
18 that, well, it's just a matter of balance in supply
19 and demand. Well, balance in supply and demand on a
20 four-second basis, as I said, we do two things.
21 One, we balance the system every five minutes,
22 through a market, which makes sure that that
23 anticipated load for the next five minutes, we meet
24 that with the cheapest energy in state and out of
25 state.

1 But then within that five minutes we
2 balance the system every four seconds, because what
3 is it we're trying to do is supply and demand. And
4 if, let's say in five minutes -- this is just one
5 concept that's pretty interesting.

6 Let's say you need 100 megawatts in five
7 minutes and you give me 100 megawatts in the first
8 minute and nothing in the next four minutes, it
9 shows up as very bad controls when you start looking
10 at your control performance for that five-minute
11 interval.

12 If you give me everything the last five
13 minutes and nothing for the first four minutes, it's
14 bad controls. But when you look at supply and
15 demand, everything may balance at the end of five
16 minutes, but as a control performance engineer, this
17 is what I see and this is what we have to address.

18 So when it comes to balances, balance in
19 the system, it's every four seconds. And then every
20 four seconds may seem fast to some of you, and some
21 of you may -- you know -- heard me in the past say
22 this, but when you think about -- and a nice way to
23 explain this is, you're driving on the freeway at 60
24 minutes an hour with your eyes closed, every four
25 seconds you open your eyes to see where you're

1 going.

2 Well, in the old days that was easy because
3 the road was pretty straight. Now, with the amount
4 of renewables it's pretty windy and it's very, very
5 difficult to do that, you know, balancing the
6 system, because what it is, electricity travels at
7 the speed of light and trying to do this every four
8 seconds is pretty slow.

9 So we're looking at ways to address these.
10 So a lot of the things that goes on behind the
11 scenes, we are looking at a lot of solutions to
12 integrate more and more renewables, minimize
13 curtailments.

14 Some of the opportunities, this is one here
15 that shows the oversupply and this is something, you
16 know, we want to minimize, curtailment. And you can
17 see, so far in 2018 we're right about 2.3 percent of
18 the potential production from solar.

19 It's not too bad. Even though it looks
20 high on this plot, 2.3 percent is still low looking
21 at overall potential production. Again, this is
22 here, it shows you the negative prices from 2012
23 through 2018.

24 Back, you know, six, seven, 10 years ago,
25 it used to show up at 4:00 a.m. when we had

1 oversupply. Now, when you look at this, oversupply
2 really shows up from about 9:00 a.m. through about
3 5:00 o'clock in the evening.

4 So last year was pretty bad. We had a lot
5 of hydro. And again, this year the blue bars to the
6 extreme right of each hour is not as bad as it was
7 last year, but still, you can see the potential for
8 oversupply.

9 EIM is helping, because on some of those
10 days, you know, especially the day we had minimum
11 load, February 18th, we shipped out 2,000 megawatts
12 to EIM participants, but yet, we had to curtail
13 about -- oh, no. We did curtail about 2,000
14 megawatts, but we were able to ship over 2300
15 megawatts to EIM participants, which really helped
16 in terms of curtailment.

17 Again, here we have a lot of folks looking
18 at ways to enhance your control performance, looking
19 at things like storage, looking at fast-moving
20 devices. We're also looking at ways that we can
21 control the system, you know, a lot better than this
22 four seconds.

23 We're working with NERC to see how we could
24 get some of these standards, I wouldn't say relax a
25 bit, but done in such a way where -- well, let me

1 step back. These standards are really developed for
2 conventional resources.

3 Now, when you want renewables on the system
4 we got to rethink some of these standards. So we
5 started working with NERC to see how we can get some
6 of these standards changed. One of the things we
7 did in terms of forecasting, we had a time lag, and
8 when the forecast came in to when it went into the
9 market runs, but about a month and a half ago we cut
10 that back to about six minutes.

11 So now, we started to see an improvement.
12 And especially on our windy days when the forecast
13 tends to lag actual production, you have problems.
14 Here, by able to cut six minutes off the forecast to
15 when it gets into the market, it's helping.

16 But also, we are working with universities.
17 We're trying to get better forecasts and we are
18 working with the Northwest Labs, trying to get a
19 probabilistic forecast fed into some of the
20 decisions that we make to help.

21 One of the things we're doing right now,
22 we're working with Southern Cal and we're working
23 with a solar developer. We want to get a solar
24 plant participate in regulation service, and that's
25 going to happen soon.

1 We're also, next month, we're going to test
2 a wind plant for some of these services, the
3 essential reliability services like regulation,
4 voltage control, frequency control, inertia,
5 frequency response.

6 Some of these solutions, I'm not going to
7 get into this, but we have about eight initiatives
8 right now at the ISO. Each one of these, you know,
9 you could spend at least a day going into. Term of
10 use rates is pretty interesting and minimum gen.

11 EIM, regional coordination, you know,
12 they're all going to help. EIM participants, we're
13 looking at SMUD, LADWP coming in pretty soon, and
14 then we're also working with CENACE, Baja,
15 California, to get -- see how soon they can join
16 EIM.

17 Again, trying to minimize the curtailment.
18 You can see from about January 2015, cumulatively we
19 avoided a lot of curtailments. Again, this is
20 partly due to being able to ship some of the
21 renewables out of state and being able to -- well, a
22 lot of other things happening, you know.

23 How can you -- one, I think there was one
24 slide, somehow it didn't get in there, but another
25 opportunity here was getting renewables to provide

1 essential reliability services. We know they can do
2 it today. We're going to prove that with this wind
3 plant next month.

4 Once they can do it, you know, we think we
5 need to relook at, you know, some things on the
6 system. So if a renewable plant can provide the
7 essential reliability services, then utilized that
8 as opposed to committing a carbon emitting resource
9 to provide the same service.

10 So with that, I think this is the end of my
11 slide deck, and are we going to get everything
12 processed now or --

13 CHAIR WEISENMILLER: Thank you. Just a few
14 questions. First, I was going to observe, as you
15 compare your -- one of the thing they do, they do
16 have an integrated continent-wide market.
17 Obviously, Germany has four balancing authorities,
18 but there's a lot of flexibility in terms of they
19 have the coal-based falling on one side, nuclear
20 placed France on the other, and obviously, Norway
21 above.

22 But you know, that's one of the advantages
23 of a regional market, you know. Certainly, Europe
24 shows as much easier to do. I don't think Germany
25 could have survived, you know, the grid if they had

1 just, you know, just limited it to Germany, per se.

2 I think the observation I was going to make
3 is we look a lot at the duck curve. In Texas Court
4 it's called the dead armadillo curve, and from their
5 wind focus. But ERCOT has really always put in much
6 stricter performance on wind, and now with their
7 having increased amounts of solar, that they really
8 have to have capabilities more like any other power
9 plant.

10 And I think that's one of the reasons that
11 they've been able to deal with what's a huge amount
12 of wind compared to California. And also, but I
13 mean, they're certainly dealing with similar
14 operational challenges as we are.

15 I think I was a little surprised you didn't
16 have the eclipse day. I mean, that was certainly a
17 good new story of how we got through that.

18 MR. LOUTAN: Yeah. We did pretty well on
19 that day. So it wasn't really operationally a
20 challenge. We got a lot of help from the solar
21 plant. But back to Europe and Germany, you know,
22 when they have oversupply they have no rules right
23 now to contain that oversupply within Germany.

24 CHAIR WEISENMILLER: Right.

25 MR. LOUTAN: So that allowed that energy to

1 flow, you know, on the system. So we had the
2 Germans here about a year, a little over a year ago.
3 And one of the things I asked was, you know, how do
4 you deal with oversupply? They go, well, we just
5 allow it to flow.

6 CHAIR WEISENMILLER: Yeah.

7 MR. LOUTAN: Then ironically, about three
8 months after, I saw an article where Czechoslovakia
9 had said, well, we can open supplies up. We just
10 can't deal with this --

11 CHAIR WEISENMILLER: Right.

12 MR. LOUTAN: -- open supply because it
13 causes losses. So but in the U.S. if we have
14 oversupply we've got to contain that within the ISO.
15 We just cannot ship that out to our neighbor in VA,
16 because of the strict standards that we have and we
17 must comply with.

18 So that's what makes it a little more of a
19 challenge, you know, for us than -- and then they do
20 not have this standard where they have to support
21 inter connection frequency as we do. So we have
22 some differences in there.

23 I look at ERCOT quite a bit, also, to see
24 what it is, you know, they're doing. They get a lot
25 of frequency to move quite a bit, but they start

1 dropping load when the frequency drops, you know,
2 below what we see in the west.

3 So in the west if we have low frequency of
4 59.5 we start tripping load, and ERCOT is, you know,
5 way below our 59.5. So they have a lot more leeway,
6 but they also have about 1400 megawatts of load that
7 they'd trip in half a second if something goes
8 wrong.

9 It's something that we started to think
10 about, you know, how can we copy some of what they
11 do, you know, in ERCOT. Some of the things, you
12 know, we're looking at is, is implementing ramp
13 rates on renewables.

14 One of things, you know, I like from ERCOT
15 is that 10 megawatts would be max a day. So we are
16 looking at other entities, what it is they're doing,
17 and so we're not trying to reinvent the wheel, but
18 apply what it is other folks' doing.

19 And Mike *17:50:42 is coming in from
20 Germany next month. So I'm going to have him for
21 about two months to see everything that they do
22 across there.

23 CHAIR WEISENMILLER: That's good. I think
24 we certainly need to keep looking at lessons
25 learned, I mean, obviously, because ERCOT's like

1 20,000 megawatts of wind.

2 MR. LOUTAN: Yes.

3 CHAIR WEISENMILLER: I think they're
4 probably more like 1,000 or two of solar.

5 MR. LOUTAN: Yeah.

6 CHAIR WEISENMILLER: But coming up pretty
7 quickly.

8 MR. LOUTAN: And they're really wind, you
9 know, their geographic diversity helps you minimize
10 variability. So when we started looking at ramps,
11 ERCOT, they went from 14,000. So they did a study
12 from 14,000 to 21,000 a day. So no ramp issues.

13 Whereas, you know, we got solar, and when
14 the solar drops off you don't get any kind of
15 geographic diversity. You lose it. So you got to
16 make the ramp up. So this is what makes the west a
17 lot different from everybody else.

18 And then nobody else has the amount of
19 rooftop PV that we do. So we got -- we kind of like
20 have a double whammy trying to maintain performance,
21 trying to deal with these ramps. And then they
22 belly of that duck is really a challenge for us,
23 also.

24 CHAIR WEISENMILLER: Yeah. And certainly,
25 if you look at our PV forecast you could get to

1 zero, you know.

2 MR. LOUTAN: Yes.

3 CHAIR WEISENMILLER: In sort of a discrete
4 period of time. I guess the -- one question I had
5 is last year you talked about the solar project
6 where you did the experiment with the inverter, and
7 you know, it was really pretty impressive.

8 And obviously, one of the things I'm trying
9 to understand now is what are we doing to move that
10 from, you know, a one-off experiment to standard
11 practice throughout every solar facility in
12 California?

13 MR. LOUTAN: Now, I know my boss is
14 involved with a team right now, you know, and I know
15 they're working with -- you know -- if Delphine is
16 here, she might be, you know, more, you know, into
17 this than I am.

18 I'm looking at just one plant participating
19 in regulation service. But Delphine, and later on
20 she may talk about this, she's more involved in
21 working out a program where we can get renewables to
22 participate in or provide in essential reliability
23 services.

24 CHAIR WEISENMILLER: All right. I think
25 it's important. You know, I think we've lost eight

1 within a year, you know, 800 megawatts of gas
2 plants. So the question is, how do we move other
3 resources into that flexible category at about the
4 same rate.

5 You know, obviously, the gas plants can go
6 away much faster than we can get the converters out
7 or demand response with some of the other things
8 we're trying to do. So what it hoping to do today
9 was really in still some urgency in the agencies to
10 make concerted action on the other flexible
11 resources.

12 MR. LOUTAN: Now, one last thing here. One
13 of the takeaways, you know, from my slides, when you
14 saw looking at the three-hour ramps and the one-hour
15 ramps, it really shows you the need for speed on the
16 system right now.

17 It shows you -- and I hope the message
18 where if I have 10 minutes or five minutes to
19 balance a system and I do everything in the first
20 minute or the last minute is not good. So this is
21 where we need to rethink and this is where, you
22 know, faster units comes in, storage comes in, other
23 type of devices to help you control the grid.

24 COMMISSIONER HOCHSCHILD: Could I ask you a
25 question. We're -- two weeks ago we passed the

1 400,000 mark for electric vehicles on the roads in
2 California. We're adding about 12,000 EVs a month
3 now in the state.

4 I'm just curious your thoughts on the role
5 of EV charging as it pertains to grid reliability,
6 what trends you're seeing so far and what role you
7 think that could play.

8 MR. LOUTAN: I think -- well, two things.
9 One, with the term use rates I think it's going to
10 help if we use this EV right, it can help you, you
11 know, raise the belly of the duck. It'll help you
12 do some load shifting.

13 But what I would really like to see EV
14 comes into play is in terms of frequency control.
15 So the concept is, you know, you come home, you plug
16 your electric vehicle in. You think, well, it's
17 going to take me 50 percent charge to go to work
18 tomorrow.

19 So you just dial 50 percent. Everything
20 beyond 50 percent you could use that as frequency
21 control on the grid. So and it's going to be
22 transparent if we do this right. When I say
23 transparent, in the sense that you go home every
24 evening. You plug your electric vehicle in.

25 At the end of the month you get a check

1 from PG&E or Southern Cal that says, look, \$50 you
2 helped me do frequency control. So it has to be
3 transparent to the user and it has to be simple, and
4 we need to figure out how to do it.

5 So these are some of the things, you know,
6 we're looking at, at the ISO. My boss and I, you
7 know, we sit and we talk about some of this stuff
8 and we think there are ways to do it. So we're
9 still in the infancy stages, but ultimately, I'd
10 like to see electric vehicles be used to control
11 frequency.

12 CHAIR WEISENMILLER: Yeah. Thanks.

13 MR. LOUTAN: Um-hum.

14 MS. RAITT: Thank you, Clyde.

15 Next is Neil Millar, from the California
16 ISO.

17 MR. MILLAR: Thank you and good morning.
18 I'm going to give a fairly brief overview -- I'm
19 going to give a very brief overview today of the ISO
20 Summer Assessment prepared really to help our
21 operators understand the conditions they reasonably
22 can expect to be looking at this summer.

23 And just in contrast -- I'll actually start
24 with the last bullet on this slide first. In
25 contrast to many of our longer-term planning

1 studies, this really is an operational study that at
2 times throws in a bit more pragmatism than science
3 to really try to give the operators a better
4 assessment of the conditions they'd be looking at.

5 It is a probabilistic approach, looking
6 over -- and we take 2,000 scenarios out of a
7 possible 8,000 that have been developed, a sample of
8 2,000 scenarios and do production simulation
9 analysis of the entire summer period, the 2928, just
10 almost 3,000 hours in the summer period, to look at
11 a wide range of load forecasts and other operating
12 conditions that could come their way.

13 It does focus on resources that qualify as
14 resource adequacy resources. So we model that
15 qualifying capacity as opposed to the P-max values,
16 perhaps of different generators. And we do take
17 into account known outage rates, as well.

18 Now, the -- jumping to the end first, we
19 are expecting a fairly tight 2018 summer result,
20 based on our assessment. We are projecting a 50
21 percent probability of a stage two emergency
22 happening at least once through the summer, and I'll
23 talk a bit more about how we've landed on that.

24 The primary issue, even though the load has
25 not changed materially from 2017, the system load we

1 see has not changed, the primary issue is that the
2 hydro conditions we're anticipating are far more
3 serious than last year, where last year was above
4 average and this year we're going well below
5 average.

6 As well, there have been gas generation
7 retirements that Chairman Weisenmiller already
8 referred to. We have not tried to take into account
9 any specific gas restrictions associated with Aliso
10 Canyon.

11 At this time we see that more of a
12 localized issue, as opposed to necessarily a system.
13 And this analysis is focusing on system capability
14 through the summer. As I mentioned, the hydro
15 conditions we're looking at are significantly below
16 2017 levels.

17 This graph provides the north, central and
18 south hydro conditions, or snow pack conditions,
19 that we were looking at through the winter. And the
20 light blue shaded area are the average conditions.
21 The purple line at the top is the highest we've
22 experienced.

23 The orange line is the 2012-2013 condition,
24 and that's the hydro scenario that we've used in our
25 summer assessment, to take into account the

1 available energy for dispatch, as well as the run of
2 the river profiles, basically because it's a very
3 close match to the hydro conditions we expect that
4 we saw around April 19th.

5 So with those values this gave us a
6 reasonable projection to use, or how that and the
7 hydro energy would play out over the course of the
8 summer. And I'll circle back on the impact of the
9 hydro market just a bit later in the deck here.

10 Now, the metric that we have been focusing
11 on is what we've called the minimum unloaded
12 capacity margin. And what that margin is, is the
13 amount of available hedge room left on generation
14 that is online, as well as the available capacity
15 from generation that could be started in 20 minutes.

16 It's a bit of a pragmatic metric that the
17 operators can turn to, to give them a feel for what
18 they have available, especially to deal with
19 unexpected circumstances, and how that leaves them
20 situated relative to our operating reserve
21 requirements.

22 Now, I mentioned that we've studied 2,000
23 scenarios out of a possible -- out of all the
24 possible 8,000 that we had constructed. What we
25 take from each scenario is the lowest value that was

1 observed through the summer from that scenario.

2 We take those 2,000 scenarios and then
3 place them and check them against operating reserve
4 requirements. And what this graph demonstrates is
5 that 50 percent of those scenarios still maintain a
6 six percent reserve or higher.

7 Whereas, approximately half of the
8 scenarios after fell below the six percent line. So
9 the column labeled 968, that's almost all
10 exclusively in the below six percent. Now, you'll
11 notice that the distribution drops off quite
12 sharply.

13 So while there's -- we're projecting a 50
14 percent chance of entering a stage two emergency
15 range, the chance of a stage three drops off very
16 significantly with relatively few scenarios, but
17 there are scenarios that have us below three percent
18 and into the stage three emergency alert area, as
19 well.

20 Now, in terms of when those occurs, and I
21 think this ties back not only to the ramp rate
22 issues that Clyde talked about, but also, what is
23 the level that you're ramping to as the solar drops
24 off. We've observed that the vast majority of the
25 low hours of operating reserve availability, the

1 vast majority of those hours occur in the post-solar
2 window.

3 So it's really an issue of we have
4 sufficient capacity to get through the system peak
5 load while your green-connected solar is still
6 available, but the impact of a load dropping a
7 little, but the solar dropping a lot is leaving us
8 in a more -- in a tougher situation between 4:30 and
9 7:30, in that post-solar window.

10 The other observation was that nearly all
11 of the operating reserve margin worst case scenarios
12 were in September, the scenarios below three
13 percent. So that also aligns with the expectation
14 by then that we've pretty much exhausted the hydro
15 supply down to its minimums, and that's when the
16 operating reserve, coupled with higher load since
17 September, which we've been seeing more frequently,
18 September becomes the more critical month for
19 getting through the summer.

20 Now, in terms of preparation, as in the
21 past, in past years, this analysis has been shared
22 with a number of state agencies, government offices,
23 and it's also used, of course, in the ISO
24 coordination with other state agencies, utilities,
25 and so forth, to be as prepared as we can for

1 summer, so that people have as much visibility in
2 advance of the kind of situation we're looking at.

3 So like I said at the beginning, we are
4 seeing a significant chance of getting stage two,
5 but very slight chances of beyond that, reaching
6 stage three. I'll stop there and see if there are
7 any questions I can help with on this.

8 CHAIR WEISENMILLER: Yeah. I just want to
9 circle back on Aliso for a second, you know, that
10 obviously, we have the problem of the pipelines
11 being out, and your typical solution for Aliso
12 problems is to shift generation out of the basin.

13 So the question is, how does that need to
14 shift generation out of the basin interact with the
15 overall assessment you have here, i.e., should we be
16 more nervous in Southern California than looking at
17 the statewide levels?

18 MR. MILLAR: Well, some of the operating
19 challenges that are unique to the local area will be
20 an additional concern. But in terms of the total
21 supply impact, one of the things we're dealing with,
22 and it's not lost on us that we're showing a fairly
23 serious situation, even before the rest of the OTC
24 generation retires, which would result in a much
25 larger drop in total available gas supply.

1 But part of the situation is which gas
2 fired generation is going away. Right now, we do
3 see that we can accommodate the loss of more slow
4 ramping, slow start generation without having a
5 material impact on these results.

6 Now, there are other implications, but on
7 these results they wouldn't change significantly due
8 to the loss of some amount of slow generation and
9 the OTC generation is relatively slow start and slow
10 ramping.

11 So when we look at that we don't see the
12 Aliso situation necessarily affecting the total
13 system capability, but we don't think we're out of
14 the woods in understanding all of the interactions
15 yet, either, that we -- of the gas system, number of
16 gas pipeline outages that are currently on the
17 system, and that's something that will need more
18 work and future evaluations.

19 We do think this gives us a reasonable
20 projection for our operators for this year, but some
21 of this work will both need further refinement and
22 more consideration in the longer-term planning. So
23 we are taking this work and also looking at what
24 does that tell us about how we should perhaps be
25 looking at any of our long-term planning studies

1 differently, as well.

2 And with Aliso Canyon, one of -- if there's
3 adequate pipeline capacity one other solution is
4 with Aliso providing historically more of the shock
5 absorber affect to handle unexpected increases in
6 demand.

7 An alternate solution was also to increase
8 the dispatch of generation ahead of time, have more
9 gas flow scheduled in the pipelines. But with the
10 gas pipeline outages we're looking at that also
11 becomes more of a challenge.

12 So this is certainly an area that needs
13 more work. We're going to be doing a lot to try to
14 support the CPUC process looking at Aliso Canyon, as
15 well as seeing what we can take from this into our
16 Transmission Planning Studies.

17 COMMISSIONER HOCHSCHILD: This is more just
18 a point, particularly maybe for Brian Early and any
19 others in the room who are engaged with some Title
20 24 on behalf of the Energy Commission. The -- you
21 mentioned the solar generation, and for fixed tilt
22 systems and still in California, they're almost
23 entirely south facing.

24 When you do west facing systems what
25 happens is you generate about 20 percent less

1 kilowatt hours over the course of the year. So the
2 valid proposition for the customer is somewhat less.
3 But you generated 55 percent more generation between
4 the hours of 2:00 and 8:00 p.m.

5 I really think as a state goal we have got
6 to be pushing hard, particularly now that we're
7 doing solar as a mandate for new construction, to
8 insure new systems going in are done west facing or
9 as many as we can, and it's -- you know -- I think
10 the time use rates will help to some degree, but I
11 think particularly with new construction where the
12 builders who are building the systems are not the
13 people who are going to be paying the electric
14 bills, it's a tough nut to crack, but we got to be
15 thinking about that, I mean, as a goal to be
16 promoting west facing PV, because I think it will
17 really help with the issues you're raising.

18 MR. MILLAR: Just to reiterate the point
19 Clyde made, well, Clyde's material is focusing
20 primarily on ramping, and I think our work focuses
21 here on both, both the ramping and what you're
22 ramping to, level of capacity at that time.

23 At this point we're seeing that there's
24 room for all of the solutions, and at the present
25 the situation is actually continuing to worsen.

1 They haven't bottomed out and started to improve
2 yet. So we certainly need the focus, let's say on
3 all of the possible solutions, too, all through
4 this. Thank you.

5 MS. RAITT: All right. So thank you.

6 Next is Michele Kito and Jaime Gannon
7 wasn't able to join us today, but Michele Kito from
8 the California Public Utilities Commission is here.

9 MS. KITO: So today I'm just going to be
10 talking about the CPUC's Resource Adequacy
11 Proceeding and some of the issues that we're seeing
12 in there, and the Proposed Decision, which is on the
13 Commission calendar for tomorrow.

14 I'll just be talking a little bit about the
15 background and history, structural changes and
16 emerging issues that we've seen, including one-
17 through cooling retirements and replacements, growth
18 in community choice aggregators, less forward
19 contracting, local waiver deficiencies and backstop
20 procurement, both RMRs and CPMs, so reliability must
21 run contracts and the use of the capacity
22 procurement mechanisms.

23 Then finally, we'll talk about the Resource
24 Adequacy Proceeding, the Proposed Decision and the
25 Track 2 Schedule. So just a little bit of history.

1 Several years ago we had the Joint Reliability
2 Proceeding.

3 It was open to consider policy proposals to
4 address the existing reliability framework for
5 electric procurement. That was to insure that we
6 had the resources needed for the grid. That was
7 closed early, in part because we were going to wait
8 for the development of a permanent, flexible
9 product, and once that was considered we thought
10 that we would reopen the issue.

11 The issue there is we didn't want to put
12 resources under a multi-year contract, since we
13 didn't know which resources we wanted. We wanted to
14 make sure that we had the right resources. That
15 decision ordered the Energy Division to collect
16 information, which we've been doing and releasing
17 reports every year -- almost every year.

18 So the issues from the Joint Reliability
19 Proceeding were move to the RA proceeding.

20 CHAIR WEISENMILLER: Can you make your
21 slides *18:10:14?

22 MS. KITO: Oh, sorry. Sure. Okay.
23 Thanks. So last year the Decision addressed this
24 issue of a multi-year framework and said, again,
25 that we wouldn't -- that the precursor or what was

1 required was durable, flexible products.

2 So it declined to adopt a multi-year
3 proposal, but it left open the possibility that it
4 could -- that the Commission could address it. This
5 year in the Scoping Memo the Commission did indicate
6 that it was willing to consider multi-year RA, even
7 in the absence of the adoption and definition of a
8 durable, flexible product.

9 So now, I'm just going to turn to some of
10 the structural issue changes and emerging issues
11 that we've seen over the past year. As CAISO has
12 talked about, we are integrating greater numbers of
13 intermittent, renewable resources, and they talked a
14 lot about that.

15 They also mentioned and we'll talk a little
16 bit more about retiring or repowering of significant
17 amounts of resources that utilize once-through
18 cooling technology. We'll also talk about the rapid
19 expansion of community choice aggregators, and then
20 we'll talk about waivers and CAISO procurement.

21 So this is kind of busy, but it basically
22 tells you the recent and expected retirements of OTC
23 units. You can see that that's about 7,000
24 megawatts. Some of these have -- or these are the
25 upcoming retirements, or announced retirements.

1 So just this year, Ormond Beach, which is
2 about 1500 megawatts, and Mandalay 1 and 2, 430
3 megawatts, announced their retirement. The bottom
4 are the resources that were considered in the very
5 old LTPP at this point for a placement for those
6 retirements.

7 So you can see that we have Carlsbad in the
8 San Diego area, and Pio Pico to a lesser extent, and
9 in L.A. Basin we have Alamitos in Huntington Beach
10 and the Wellhead Plant. And those are expected to
11 come online in 2020.

12 So moving to the next page, I'm going to
13 talk a little bit about local areas and CPUC
14 jurisdictional LSEs. So this is just a map of
15 CAISO's jurisdiction, and then we would just want to
16 mention that CPUC jurisdictional LSEs account for
17 about 90 percent of the load in the CAISO.

18 There are currently 39 LSEs. We have three
19 investor-owned utilities, 20 community choice
20 aggregators and 16 electric service providers.
21 Okay. So this is a graphical representation of the
22 issue we're seeing with regard to the growth of the
23 CCAs.

24 So if you look at the far left chart, those
25 were the load share ratios in 2017. So you can see

1 that the IOUs were serving 88.4 percent of the load,
2 ESPs about 8.5 percent and the CCAs, 3.1 percent.
3 The middle chart was our year ahead forecast.

4 So that's the forecast that we had last
5 year and that's what we used to allocate
6 requirements -- RA requirements. That's the middle
7 chart. Again, you can see the percentages and you
8 can see that CCAs were expected to be 6.2 percent,
9 based on the forecast last year for this August.

10 Now, we'll go to the far right chart, and
11 that is based on the August revised forecast. This
12 is now what we expect to see this August, and you
13 could see that the number of CCAs has grown
14 considerably.

15 So in all these cases it's almost doubled.
16 so it's doubled from 2017 to what we expected for
17 2018, and it's doubled from what we expected to what
18 we're seeing -- nearly -- in 2018. So there's a
19 considerable amount of CCA load growth uncertainty,
20 and we just want to highlight this and it makes
21 planning somewhat difficult.

22 You can see in this, if we looked at the
23 implementation plans that are filed at the PUC,
24 4/20/18 we would have expected to see CCAs at about
25 15 percent. And remember, if you go to the last

1 chart, what we were expected as of the August load
2 forecast was 6.2 percent.

3 And if you look at Implementation Plans
4 that are filed with the Commission for August of
5 this year, it would have been 15 percent. Again, if
6 you looked just a month later on January 1st of
7 2018, that would have been 19 percent, based on the
8 implementation plans, but not everyone chose to move
9 forward with their expansion -- CCA Expansion Plan.
10 So we are now at the 10.9 percent.

11 So this highlights two things. It makes
12 planning a little bit difficult, and secondly,
13 there's a large amount of intra-year uncertainty at
14 this point. So those are the purpose of those.
15 Just going to talk a little bit about Forward
16 Procurement.

17 So when we did the JRP in 2014 we looked at
18 how much procurement was happening in the forward
19 space, and at that point in time we thought we saw
20 some significant forward procurement. So what we
21 saw in 2014 was that for the next year there was 95
22 percent of the procurement was completed, and for
23 the following year, August of 2016, 85 percent.

24 So that would indicate that most of the
25 system requirements, at the very least, were met on

1 a forward basis. So now, we look at the most recent
2 contracting analysis report that is based on an
3 April 2017 snapshot.

4 And it indicates that for the next year at
5 that point in time, 75 percent was procured for
6 2018. And if you remember the way the procurement
7 goes, usually, the requirements come out in July.
8 So everyone will be roughly 100 percent -- well, I
9 think 90 percent procured in the year ahead time
10 frame for system.

11 But a lot of the procurement happens in the
12 summer and this snapshot was April. So that's why
13 you're seeing 75 percent. In any case, for August
14 of 2019, based on that snapshot, it looked like it
15 was 69 percent.

16 And this also includes the effect of ELCC.
17 So we adopted an ELCC. So you might have had
18 resources in your portfolio that were solar and you
19 could account for a certain amount of that NQC, but
20 with the decision which reduced the NQC, you would -
21 - it would look like you have less in your
22 portfolio. So that explains some of the drop.

23 So staff concluded that there had been a
24 decrease in the forward procurement activities since
25 2014, when we were looking at the JRP at that time.

1 Okay. This is kind of a busy chart, but it just
2 tells you who is doing the procurement.

3 So we have different kinds of procurement.
4 We have IOU procurement. We have CCAs. We have
5 ESPs, and we also have central procurement, which is
6 done through CAM. So in the last decade or so the
7 Commission has authorized the utilities to invest in
8 new resources, and those resources are primarily for
9 reliability, and those resources are -- the costs
10 are allocated and the benefits are allocated to all
11 customers.

12 And that shows you -- that's the CAM line
13 right there, down there. So this is as a percentage
14 of the local requirements. And so if you look at
15 this you would say, well, we're over-procured in
16 2017 for the local requirements, but the issue is,
17 local resources are also used to meet system
18 obligations. That's why you'd be over-procured.

19 So a couple of important points for 2017.
20 The procurement percentages roughly match what you
21 would expect for the load that they had, if you ent
22 back to the chart we had before. Those drop off
23 fairly significantly in the outer years.

24 We are now collecting additional data and
25 we will update this, and there -- we believe that

1 there has been more forward procurement, some
2 additional forward procurement. Going to talk
3 quickly about the local capacity areas.

4 The CAISO performs LCR studies every year.
5 Those are based on one in 10 weather years, and
6 based an N minus one, minus one contingency. So
7 they're basically looking at what resources you need
8 in the local area if you have a very high load day
9 and if two transmission lines go out, the important
10 thing is we have 10 local areas, but we have 45
11 sublocal areas.

12 So CAISO not only looks at the local areas,
13 but it looks at what resources we need in smaller
14 areas, well. CPUC, from our perspective we
15 aggregate six of the local areas to address market
16 power concerns, and those Sierra, Fresno, Humboldt,
17 North Coast, Stockton and Kern, and we would
18 aggregate into PG&E, other areas.

19 So we allocate the requirements to give
20 areas, Bay Area, other PG&E, L.A. Basin, Big Creek
21 and San Diego. Annual compliance is due on October
22 31st. CAISO does an analysis to see if they get the
23 right resources, both in the local areas and the
24 sublocal areas.

25 So this chart, again, is also busy, and it

1 really illustrates two points. One is the number of
2 subareas in each local area, which is to say, not
3 only do you need to get the procurement in the right
4 local area, but you also are aiming for trying to
5 get the right procurement in very small areas, as
6 well.

7 The other issue that this illustrates is
8 how many resources in the area you need. So you can
9 see that in Stockton we pretty much need every
10 resources, and Sierra, as well. And it also will
11 give you some indication potentially of the market
12 power that generators in any local or sublocal area
13 might have.

14 Let's see, local reliability concerns. The
15 CPUC has a local waiver process to mitigate market
16 power and that was because there's high
17 concentrations in certain areas and not some areas.
18 The trigger price is \$40 a KW year.

19 Prior to the 2018 year LSEs has only ever
20 filed two requests for local waivers. In 2018, of
21 the 27 LSEs we had at the time, 11 filed waiver
22 requests in aggregate, requesting waivers for 270
23 megawatts of local deficiencies in the San Diego
24 area.

25 We've also had over the past year the

1 emergency of backstop procurement. We had
2 considerable amounts of backstop procurement. I
3 have categorized it into CPM and RMR. On the left
4 hand is the capacity procurement mechanisms that
5 were picked up.

6 It was Moss Landing 2 for 510 megawatts,
7 and the prices are shown there, and Encina 4 and 5.
8 With regard to RMR -- oh, and I will just say, the
9 CPM is determined after the -- okay. I'll go
10 faster. So the RMR procurement included Metcalf,
11 Yuba City, Feather River. You can see those.

12 You can see that these are considerably
13 more expensive than the RA procurement we've seen in
14 these areas to date. The track 1 decision proposes
15 a multi-year resource adequacy requirement starting
16 in 2020 and a central buyer, and it also addresses
17 issues regarding load migration from utilities to
18 CCAs.

19 The Proposed Decision concludes that a
20 three to five-year local requirement should be
21 initiated for 2020, that 100 percent local
22 requirement is appropriate for the first two years,
23 and for years three and beyond, if adopted, parties
24 are directed to propose percentages that were
25 consistent with what we found in the past.

1 I won't go into this, but we did -- the
2 Decision does talk about a central buyer or -- and
3 gives a strong preference to a single, central buyer
4 per track area. The -- just wanted to mention that
5 Ormond Beach and Ellwood generators have announced
6 their retirements, and CAISO determined in their
7 local study that they're needed for local
8 reliability.

9 The PD authorized Southern California
10 Edison to contract with these generators, if
11 possible, and allocate these costs to all customers.
12 Similarly, it noted that if other issues arose that
13 the utilities are authorized, but not required, to
14 contract with these resources, to the extent that
15 they can try to procure them at less than backstop
16 prices.

17 the schedule for track 2, which we'll be
18 considering, that local program, is right here.
19 Testimony's due on July 10th. Workshop's in July --
20 responsive testimony in August, hopefully with a PD
21 at the end of 2018. I'm happy to answer any
22 questions.

23 CHAIR WEISENMILLER: Yeah, I have a couple.
24 Could you explain the CAM to me, where you had the
25 one chart of who was doing what procurement there's

1 the CAM, unless I ran into -- I've not ran into that
2 before.

3 MS. KITO: Sure. CAM stands for cost
4 allocation mechanism.

5 CHAIR WEISENMILLER: Right.

6 MS. KITO: And in the 2000s the Commission
7 determined that additional resources were needed for
8 reliability, and they weren't certain that anyone
9 was willing to do it. So ESPs might not be willing
10 to do it, because they only have customers for a
11 short period of time.

12 At that point in time I don't believe there
13 were CCAs and the utilities were concerned --

14 CHAIR WEISENMILLER: Okay.

15 MS. KITO: -- about load migration and were
16 unwilling to undertake that procurement without some
17 assurance that everyone paid. So the Commission
18 authorized some procurement and allowed them to
19 spread the cost to all customers. So for example,
20 the Alamitas and Huntington Beach --

21 CHAIR WEISENMILLER: Okay.

22 MS. KITO: -- are spread to all customers
23 in Edison's TAC area.

24 CHAIR WEISENMILLER: Okay. And I'm not
25 surprised the IOU numbers are going down. I think

1 it was last year the utilities were clear they were
2 not doing the under five-year procurement, because
3 of the uncertainty on CCAs. You know, they just
4 stopped.

5 So I would anticipate over time you'll see
6 less and less utilities as they try to work down to
7 what they the levels to be on longer term.

8 MS. KITO: Right. And that's why the
9 decision both authorizes or intends to authorize
10 multi-year procurement, so that you could get those
11 levels up to where we saw them in the past, and also
12 proposes centralized procurement to address the load
13 migration issue and load uncertainty.

14 CHAIR WEISENMILLER: Well, what are the CCA
15 incentives? You had pointed out all the
16 uncertainty. Obviously, the very large
17 implementation plans, but much smaller elements here
18 for the forward procurement.

19 So what happens if they basically have a
20 certain level they contract, but then they exceed
21 that level, you know, and don't have contracted RA
22 for those additional resources? Is that just CAM or
23 just how does it work?

24 MS. KITO: Oh, there -- the Commission has
25 a penalty mechanism. So if somebody doesn't come in

1 with the resources that they're -- that we've
2 allocated to them for TA purposes, either in the
3 year ahead or the month ahead time frame, we have a
4 penalty provision, and the penalty provisions are
5 almost at the -- very close to the backstop price.

6 So they would be subject to penalties, in
7 addition to which if the CAISO determines that they
8 have insufficient resources, they can allocate them
9 CPM costs. So they could be double penalized if
10 they come in short for RA.

11 CHAIR WEISENMILLER: And what is the year
12 where the CCAs are supposed to start flipping to
13 long-term procurement? Is that -- out of 350 is
14 2021 or --

15 MS. KITO: So I am not an RPS expert, but
16 my understanding is that begins in 2021. I'm not
17 sure when the compliance date would be. I would
18 suspect it would be closer to 2024 or 2025, but I
19 could get back to you on that.

20 CHAIR WEISENMILLER: Okay. That's fine.
21 Thank you.

22 MS. KITO: Sure.

23 MS. RAITT: Thanks, Michelle. Next is
24 David Vidaver from the California Energy Commission.

25 MR. VIDAVER: Good morning, Commissioners.

1 David Vidaver, with Energy Commission Staff. I've
2 been asked to present an overview of Recent and
3 Planned Natural Gas Generation Retirements, a far
4 more mundane issue than those being dealt with by
5 the three presenters which preceded me.

6 Here we go. The first slide presents just
7 an overview of retirements over the past eight
8 years. We've retired about 10,500 megawatts to date
9 of natural gas-fired generation. That's a turnover
10 of about a quarter of the state's gas fleet.

11 We should now that we've replaced that with
12 about 8500 megawatts. So we've got about 2,000
13 megawatts less gas-fire generation capacity than we
14 did eight years ago. The labels are economics and
15 OTC.

16 Economics is merely not OTC, and any plant
17 that was subjected to a once-a-year cooling
18 compliance deadline is represented under OTC. One
19 can argue that early retirement of some of these
20 plants prior to their compliance deadlines is more
21 of an economic issue, but I didn't want to sit there
22 and try and figure out which plants were retiring in
23 advance of -- or which units were retiring in
24 advance of their deadlines just to apparently
25 stagger replacement capacity at the same site, and

1 which were actually sort of driven out early by poor
2 economics.

3 So a small share of this 10,500 megawatts
4 is actually repowering Scattergood and Haines 5 and
5 6, Scattergood 3, the LADWP units were repowered on
6 site, but that's included in these numbers as of
7 retirement.

8 The numbers for a 2017 show retirement of
9 3,500 megawatts, but that doesn't reflect year over
10 year capacity availability, summer to summer. Most
11 of the retirements in 2017 occurred prior to the
12 summer.

13 The significant retirements were Pittsburg,
14 Moss Landing 6 and 7, the old units, and Encina 1,
15 totaling about 2600 megawatts of OTC capacity.
16 Inland Empire 2 retired four cogeneration units
17 totaling about 230 megawatts retired, and the two of
18 the Calpine peakers that were not deemed necessary
19 by the ISO for local reliability, King City and Will
20 Skill (ph. *18:29:27), were also retired.

21 We are about halfway through the OTC
22 retirement cycle of roughly 20,000 megawatts
23 capacity. In 2018 Mandalay 1, 2 and 3 have already
24 retired. Mandalay 1 and 2 were once-through cooled.
25 Mandalay 3 was not.

1 Etiwanda 3 and 4 are retired, I believe
2 within the last couple of weeks. And you'll notice,
3 Ormond Beach 1 or 2, Ormond Beach would like to
4 retire in advance of its OTC compliance deadline,
5 but as both the ISO and Michele mentioned, one of
6 those units is needed for local reliability, and
7 will either be picked up in the Resource Adequacy
8 Proceeding, or will be backstopped by the ISO.

9 We're going to continue retirements for
10 another couple years, most of them pursuant to OTC.
11 Perhaps a better labeling for this slide is not
12 planned retirements, but planned for retirements.
13 There is nothing in here about something that might
14 retire because of poor underlying economics that
15 hasn't already been brought to the attention of the
16 agencies.

17 We have included in these numbers the
18 units, Calpine units, Metcalf, Yuba City and Feather
19 River, which the ISO found necessary for local
20 reliability, and the CPUC has asked PG&E to solicit
21 replacement, preferred resources in sufficient
22 quantities as to obviate the need for the gas
23 plants.

24 So those are included as retiring in I
25 believe 2019 in these numbers, along with Ormond

1 Beach. Of course, they won't retire if they're
2 still deemed -- if they're picked up under RA or
3 they're still deemed as necessary for reliability by
4 the ISO and are picked up under backstop.

5 There's small amounts of planned -- or of
6 OTC retirements in outer years. They total about
7 1500 megawatts. They're the three LADWP plants that
8 are -- have compliance deadlines. There's 2014,
9 2025, 2029. There are remaining units at
10 Scattergood, Haines and Harbor.

11 Whether or not those will be replaced with
12 gas-fired generation is still up in the air. LADWP
13 is currently conducting, and I believe just
14 finishing, an OTC study, which is designed to shed
15 light on the extent to which preferred resources can
16 replace all or part of those gas-fired resources.

17 The radial nature of LADWP's system makes
18 generation at the end of the lines that run into the
19 south through the LA Basin necessary, and they have
20 -- apparently have substantial -- there are must-run
21 issues associated with all those facilities and are
22 looking at those, I assume as part of this study.

23 And as I said, none of these numbers
24 include any gas-fired plants, which may realize that
25 expected revenues don't cover going forward, capital

1 costs and ask the ISO if they can retire. As far as
2 the different types of plants that have retired, we
3 see that we're about halfway through the OTC cycle,
4 7500 megawatts retired. 8400 megawatts remain to be
5 retired.

6 Come on cycle in combustion turbines, which
7 just mean not OTC plants, we have about 2500
8 megawatts of capacity retired and another 1100
9 planned or planned for by the regulatory agencies,
10 and we've had 13 cogeneration units retire, totaling
11 about 500 megawatts.

12 And this shows the relationship between
13 retirement and plants being in disadvantaged
14 communities. We've looked at the -- those plants
15 that had a score of 75 or more under the
16 CalEnviroScreen 3.0, and we see that a large number
17 of retired facilities are indeed in disadvantaged
18 communities. Many are not.

19 There are a share of plants that aren't --
20 for which we can't determine whether or not they're
21 in disadvantaged community. From what I understand,
22 they're in a census tract that doesn't have
23 sufficient population so as to generate a CES score.

24 We asked Cartography to look at neighboring
25 census tracts and there sort of all over the map.

1 Cardinal Cogen retired. That's on the Stanford
2 campus. So it has a relatively low CES score.
3 There are other facilities that are -- well, the
4 census tract doesn't allow for development of a
5 score.

6 The nearest populated areas are indeed
7 disadvantaged communities. The resources for which
8 we don't have scores are Encina and Scattergood, El
9 Segundo, Alamitos and United Cogeneration, which
10 retired its outfit at the San Francisco Airport.

11 And then just a brief summary. In
12 conclusion, we're obviously going to witness plants
13 continuing to retire for economic reasons. The
14 state plans on replacing those plants, to the extent
15 possible, with preferred resources.

16 As the ISO intimated, increasing ramps will
17 result in a substantial need for fast-starting, low-
18 PMN, fast-ramping resources, and the extent to which
19 we can develop such resources that are alternatives
20 to gas-fired generation really dictates how quickly
21 we can retire existing gas-fired facilities. I
22 think I beat the clock.

23 CHAIR WEISENMILLER: Good.

24 MR. VIDAVER: Are there any questions, sir?

25 CHAIR WEISENMILLER: Well, I was just going

1 to footnote. Obviously, along with the gas units we
2 have a couple of large nuclear plants which are
3 retired or retiring, and I would assume there's a
4 fair number of old QF facilities that are not going
5 to get QF contracts going forward.

6 So whether they may survive or not or
7 retire is the question. So I assume there's a
8 certain amount of small renewable retirement also in
9 this mix, although the fleet's changing pretty fast.
10 Thanks.

11 MS. RAITT: Okay. Thanks. I'd like to
12 just go ahead and let our morning speakers sort of
13 find a seat in the audience, if you'd like, and
14 we'll move onto our next speaker, Amber Mahone, from
15 E3.

16 MS. MAHONE: Well, hi, everyone. I'm going
17 to change gears here a little bit. We spent the
18 morning getting a really good overview of the
19 current grid in California, and I want to get out
20 our crystal ball or our binoculars, however you want
21 to think about it, and look forward out to 2050, so
22 kind of setting aside the current situation and
23 looking forward to what would it take for California
24 to meets its greenhouse gas reduction goals.

25 And I'll be talking about this in the

1 context of a study that we recently completed with
2 funding from the Energy Commission's EPIC Program.
3 The paper was recently published called -- it's
4 called Deep Decarbonization in a High Renewables
5 Future, and the publication number is up there if
6 you want to look it up and find more details.

7 It covers an economy-wide view of meeting
8 California's 2030 and 2050 climate goals, but today
9 I'm going to focus on the implications for renewable
10 integration, in keeping with our topic for the day.
11 So as part of this work we worked with a model
12 called the PATHWAYS model, which is a tool that we
13 developed at E3 to look at greenhouse gas reduction
14 scenarios.

15 And we evaluated three different types of
16 scenarios as part of this project, a reference
17 scenario, which is the black dotted line you see
18 across the top here. This is total greenhouse gas
19 emissions in California going back to 1990 and out
20 to 2050.

21 And the reference scenario reflects pre SB-
22 350 policy, so sort of California's energy policies
23 circa 2015, 2016, say. The second scenario, SB-350,
24 looks at the impact of a 50 percent RPS by 2030 with
25 no further additions in renewable generation after

1 2030.

2 And it includes electrification of vehicles
3 associated with the Air Resources Board goals. And
4 then we looked at 10 different mitigation scenarios
5 that are the gold line there that meet the state's
6 2030 and 2050 emission reduction targets, which I
7 think probably everyone in this room is familiar
8 with those, but it's a 40 percent reduction in
9 emissions by 2030, relative to 1990 levels and an 80
10 percent reduction by 2050.

11 So what I want to focus in on is those
12 mitigation scenarios. Now, in this project we
13 looked at -- we used two different models. So the
14 PATHWAYS model is the economy-wide scenario tool
15 that allows us to calculate total emissions for the
16 state, given a set of input assumptions about the
17 physical transformation of the energy economy, how
18 many electric vehicles, how many electric buildings,
19 how many megawatts of renewable power.

20 And what we did was we took our -- one of
21 our mitigation scenarios that meets the state's 2050
22 climate goals, and we took the electric loads that
23 result from that scenario and the electric sector
24 GHG emissions that result from that scenario and use
25 that to populate our resolve model, which is an

1 electric sector least-cost capacity expansion and
2 dispatch model, and we used that to look at a little
3 bit more detail about how the electric sector might
4 operate and what the least cost capacity build might
5 be in order to meet those loads.

6 So just the PATHWAYS model was sort of most
7 recently used in the Scoping Plan by the Air
8 Resources Board to look at meeting the state's 2030
9 goals. For this project we expanded it out to 2050.
10 The resolve model has been used at the California
11 Public Utilities Commission in the context of their
12 Integrated Resource Plan.

13 Prior to that it was used by the CALISO as
14 part of their look at SB-350 regional integration.
15 For this study we took the framework of that model
16 and, again, we expanded it out to 2050. So really
17 long run, kind of big picture look at meeting the
18 state's long run climate goals.

19 So I want to focus in on one of those 10
20 scenarios that I mentioned, which is a high
21 electrification scenario, and just kind of stepping
22 back -- I mention these -- they're economy-wide
23 scenarios, although we'll be mostly talking about
24 the implications in the electricity sector.

25 There's really four key pillars within our

1 framework of what's required to meet the state's
2 climate goals. The first is energy efficiency in
3 conservation, and that's true across all sectors of
4 the economy, in transportation, buildings, industry.

5 The second pillar is electrification, and
6 that's electrification primarily of transportation,
7 but in many of our scenarios it's also
8 electrification of buildings, and in some scenarios
9 it's also electrification of some industrial end
10 uses.

11 Low carbon fuels is in this context, I
12 mean, all energy provided -- being consumed in the
13 economy, so percent of primary energy being served
14 by zero carbon energy gets to 70 to 80 percent zero
15 carbon energy by 2050 in our mitigation scenarios,
16 and that's for -- that's encompassing both
17 electricity, as well as transportation fuels and all
18 other fuels.

19 And then reducing non-combustion emissions
20 is the final pillar. Other categories in that
21 pillar could include reducing emissions from land
22 use. So if we just dig in a little bit more to that
23 third pillar on low carbon fuels, there's really two
24 components here: what's happening in electricity,
25 which is on the left, and what's happening with our

1 liquid and gaseous fuels, so gasoline, natural gas,
2 which is shown on the right.

3 And the three scenarios that you're -- that
4 are being shown here, I apologize, they're not
5 labeled. But the black dotted line is, again, our
6 reference scenario. The green line is, again, our
7 SB-350 scenario and the gold line is the mitigation
8 scenario, which in this case is our high
9 electrification scenario.

10 And you can see that by 2050 the emissions
11 intensity of electricity is pushed almost to zero;
12 not precisely zero, but very close to zero. And the
13 emissions intensity of our liquid and gaseous fuels
14 doesn't go down by quite as much.

15 Total demand for those fuels does go down
16 significantly, but in this scenario, at least, we
17 saw some limits to the availability of sustainable
18 biofuels, and that forces us to reduce the emissions
19 intensity of electricity even further.

20 So there's sort of a tradeoff there between
21 how much we have to rely on renewable generation to
22 decarbonize the California grid, versus using
23 biofuels or other sources of zero carbon energy.

24 The other pillar that I wanted to delve
25 into a little bit more deeply is the electrification

1 pillar. And in our high electrification scenario we
2 see a really rapid transition of the state's
3 transportation fleet, as well as the building
4 equipment to electric end uses.

5 And what you're seeing here on the left,
6 this is percentage of new sales of residential space
7 heating equipment. And you can see that by 2040
8 almost 100 percent of the new sales of space heating
9 equipment in this scenario are electric heat pumps,
10 as opposed to today where almost 90 percent of the
11 state's heating is from natural gas.

12 A similar story for light duty electric
13 vehicles. We have a mix here of plug-in hybrid
14 electric vehicles, battery electric and some
15 hydrogen fuel cell vehicles. This is -- you know --
16 these are two end uses, but we see similar
17 transitions toward electrification in the commercial
18 sector, in water heating and in other types of
19 transportation, so trucking, buses and some off-road
20 equipment, as well.

21 So all of that results in a pretty
22 significant increase in total electric demand in
23 these scenarios that achieve the state's long-term
24 climate goals. This shows electricity demand in
25 California over time from 2015 through 2050, and our

1 high electrification scenario.

2 And the bottom bars across the bottom there
3 are agriculture, industry and sort of conventional
4 electric demand in buildings. And these wedges that
5 you see growing over time and really increasing in
6 the 2030 to 2050 time frame are new electric loads
7 coming from the electrification of buildings and
8 transportation.

9 And so in this scenario I think we've
10 increased total electricity load by something like
11 60 percent relative to today. So a really dramatic
12 transformation of the electric grid is entailed
13 here. So how do we serve that load reliably while
14 also reducing carbon?

15 In this scenario we get to about 95 percent
16 of total annual electricity generation being served
17 by zero carbon resources, which is in this case
18 renewable power and existing hydro. So we're left
19 with only about five percent of generation being
20 provided by natural gas.

21 Now, we've looked at different generation
22 mixes as part of this analysis. One of the lower-
23 cost scenarios that we found included significant
24 expansion of out-of-state wind after the 2030 time
25 frame. So we have 44 gigawatts of out-of-state wind

1 helping to balance the in-state solar, which is --
2 that would require probably a pretty big regional
3 integration effort and a variety of other changes to
4 make that happen.

5 But we do see pretty significant benefits
6 from having that renewable diversity in the
7 portfolio. The natural gas capacity factors are
8 dropping dramatically in these cases from about 40
9 percent today to about five percent by 2050,
10 although we'll note that we assume that a
11 significant amount of the state's natural gas
12 capacity is available to provide reliability
13 services in these case.

14 So even though they're not running very
15 often, they are still essential for reliability,
16 absent a major technology innovation. So we also
17 looked at the impact of flexible loads in these
18 scenarios, and this is a pretty busy table, but it's
19 just sort of showing the assumptions that we modeled
20 in this particular case, which is that we have these
21 electric end uses, you know, water heating, space
22 heating, electric light-duty vehicles, and we assume
23 that a percentage of those loads can be shifted
24 forwards or backwards by a given number of hours,
25 two hours or three hours.

1 And in our mitigation case we assume that
2 by 2030 we can get 20 percent of those electric end
3 uses listed here to be flexible within a two to
4 three-hour time frame, and by 2050 we can get 80
5 percent of those loads to be flexible.

6 Now, this isn't necessarily a forecast of
7 what would happen. This is a scenario where we're
8 testing, you know, if this were to happen what would
9 be the impact of that. So I would certainly say
10 that a more precise characterization of the ability
11 of flexible loads is necessary, and this work was
12 not meant to capture all of the complexity and depth
13 of the potential for flexible loads in electric end-
14 uses, but we do frame [sic] that given these
15 assumptions, our flexible loads are very valuable.

16 So this shows an example of two days in
17 spring in our high electrification scenario in 2050.
18 And on the left what you have is the high
19 electrification scenario with those 44 gigawatts of
20 out-of-state wind, a whole bunch of in-state solar
21 and some storage, we see about nine percent
22 curtailment in 2050 in that sort of best case,
23 optimistic scenario.

24 In a less optimistic scenario with less
25 flexible loads, renewable curtailment increases to

1 22 percent, and you can see that we also ended up --
2 the purpose there is energy -- battery storage, and
3 we ended up needing more of that, as well.

4 So I need to sort of go quickly here, but
5 there's a lot of exciting results to share. The
6 bottom line is that renewable integration solutions
7 save a lot of money, and make the system more
8 operable in terms of lower levels of curtailment,
9 lower needs for battery storage.

10 So the case on the left is our sort of most
11 optimistic, best case, high electrification scenario
12 with a diverse mix of renewables and a set of
13 flexible loads available. And on the right we have
14 the sort of other extreme where we don't have as a
15 diverse of a renewable portfolio in-state solar
16 resources primarily, less flexibility. We need a
17 lot more battery storage and it increases the cost
18 of the scenario.

19 So I think I have to skip this, but I'll
20 just conclude that in summary we find that
21 California's climate goals will require higher
22 levels of electric loads in order to reduce carbon,
23 even with aggressive energy efficiency.

24 We'll need 85 to 95 percent zero carbon
25 electricity, not necessarily zero carbon to meet an

1 80 percent reduction by 2050, but very high levels
2 of zero carbon electricity. And renewable diversity
3 and renewable integration solutions will be critical
4 to reducing over-generation of renewables and
5 containing costs.

6 And there's a whole suite of renewable
7 integration solutions, and we find that we probably
8 need all of them. So thank you very much.

9 CHAIR WEISENMILLER: Amber, obviously,
10 these are scenarios and not forecasts, but do you
11 have a sense of how the uncertainty grows over time,
12 you know, as -- you know -- I would say we were
13 trying to at least get some markers for the 2030 to
14 2050 time. Do you have a sense of --

15 MS. MAHONE: Well, uncertainty on which
16 metric?

17 CHAIR WEISENMILLER: Cost, I would say.

18 MS. MAHONE: On cost.

19 CHAIR WEISENMILLER: Yeah.

20 MS. MAHONE: Yeah. I mean, it certainly
21 gets hazier the farther into the future you look.
22 And you know, one of the things that we're already
23 seeing is if we look at really aggressive cost
24 reductions in wind and -- or sorry -- in solar and
25 storage, that reduces the sort of delta between the

1 high out-of-state wind case and the in-state solar
2 case. So there's quite a bit of uncertainty, I
3 would say, on the costs here.

4 COMMISSIONER McALLISTER: Thanks, Amber.
5 It's good to see this updated.

6 And a question just on the range of
7 flexibility options on the demand side, or really,
8 on the distributed side, I would guess, I'd say I
9 guess it would be better to say.

10 You know, how much have you delved into --
11 you know -- how much of this is turning off heat
12 pumps and things like that, versus shifting actual
13 load verse -- you know -- and what are kind of the
14 policies that you envision driving some of these
15 changes?

16 And maybe you have -- you don't go down to
17 policy level and that sort of thing, but you know,
18 certainly, you know, my feeling is that a lot of
19 demand response could be very cheap if the systems
20 were replaced to make it happen, versus sort of a
21 more widget-based, you know, install these
22 technologies and put timers on them.

23 So I guess I'm wondering sort of how much
24 your scenarios dig into those kinds of details.

25 MS. MAHONE: Yeah. So in general, we find

1 the biggest value in flexible loads in these long-
2 term, high renewables cases come from the ability to
3 shift loads, not so much the conventional load-
4 shedding, demand response type of programs.

5 And so that's, you know, the ability to,
6 you know, preheat your water heater or precool your
7 home. Basically, anything you can do to move the
8 loads towards the middle of the day when the solar
9 is available in order to reduce renewable
10 curtailment or the need for more costly energy
11 storage is where we see the biggest value.

12 COMMISSIONER McALLISTER: So those --

13 MS. MAHONE: But I think there's certainly
14 lots of other value streams there in terms of
15 providing ancillary services and conventional load-
16 shedding.

17 COMMISSIONER McALLISTER: For sure. So but
18 you're -- in terms of the ability, the scale of
19 those kinds of resources to create the load shapes
20 that you showed, you think that capacity at that
21 scale is there?

22 MS. MAHONE: Yeah. I don't think it's a
23 panacea, and I think that, you know, the shifting
24 loads on its own won't provide the whole suite of
25 renewable integration solutions that we're going to

1 need, but I think it's a really important piece of
2 the puzzle.

3 MS. RAITT: Thank you, Amber.

4 So next, we'll move onto the regional
5 portion of the day, discussions, and Neil Millar,
6 from the California ISO.

7 MR. MILLAR: Thank you. Today, I'll give a
8 very brief update on the Informational Study the ISO
9 is doing in partnership with *18:57:26 Power, as
10 well as LADWP, on looking at the possibility of
11 increased capabilities for transfers of low carbon
12 electricity from the Pacific Northwest to
13 California.

14 Now, this study was initiated as an
15 informational study in our 2018/2019 Transmission
16 Plan at the request of this Commission, as well as
17 the Public Utilities Commission, through a letter
18 sent to *18:57:50.

19 We have been working forward on primarily
20 the two issues. One is to evaluate options to
21 increase the transfer capability of the system that
22 are bringing such resources to California, and also
23 potentially return them, and also to assess what
24 role AC and DC interties can play in helping to
25 displace generation whose reliability might be tied

1 to the Aliso Canyon situation. So we're working on
2 the two of these issues.

3 Now, the biggest issue here is that the
4 study scope itself has been getting a lot of
5 attention as we move forward. The scope is really
6 focused on four different aspects. As they're set
7 out here, there's the transfer capacity of the AC
8 and DC systems itself, the dynamic transfer
9 capability on the AC inerties.

10 As well, the third item is to explore the
11 automation of manual controls on key BPA
12 infrastructure that can impact our ability to make
13 sure of resources and address issues in particular,
14 like shaping and ramping.

15 And the last issue is also -- which depends
16 largely on the progress of the first three -- is to
17 further explore assigning resource adequacy value to
18 firm non -- or zero carbon imports or transfers as
19 we move forward.

20 Now, the biggest chunk of work to date has
21 been focused on the study plan itself. The analysis
22 will only actually start when the base cases are
23 ready through the rest of our annual planning cycle.
24 So we did put considerable emphasis working with our
25 stakeholders on the study plan as -- make sure we

1 were well positioned on that.

2 In addition to the public stakeholder call
3 and comments and response to comments going back to
4 April 26th, we've also been working with the other
5 owners of transfer -- of transmission capacity on
6 the task beyond Bonneville and LA.

7 So that's also garnered a lot of interest.
8 So we have quite a few people participating in the
9 refinement of the study plan, getting input from the
10 other capacity owners. Now, the study plan itself
11 is really identifying the horizon, the assumptions
12 we're using, methodologies and the scenarios.

13 And we are studying both north to south
14 transfer capability, as well as south to north, to
15 explore not just acquiring resources from the
16 Pacific Northwest, but also, the shaping concept.
17 So the studies are focusing on both of those issues.

18 Just touching on each of the four
19 components, and I'm aware of time so I'll try to
20 move through this very quickly. The AC/DC system
21 studies are focusing both on a short-term and the
22 longer-term aspect, looking at very modest increases
23 in the short-term, but also, taking on some of the
24 longer-term interests, including perhaps a bit more
25 cursory look at potential greenfield projects.

1 And this is where we'll also be wanting to
2 come to better terms with the issue of where there
3 is existing congestion showing up on the California-
4 Oregon interties, is that real physical congestion
5 or is it a scheduling, marketing indication that
6 could be addressed without the need for
7 infrastructure.

8 On the second item, increasing dynamic
9 transfer capabilities, BPA has been moving forward
10 on the increase of the dynamic transfer capability,
11 400 [sic] megawatts on their own -- well, in
12 partnership with others, but they've been moving
13 forward on that effort.

14 In this emphasis -- or sorry -- from 400 to
15 600. I mis-spoke there. What we'll be doing in
16 this initiative is looking at the potential benefits
17 of further increases and if there are any other
18 potential requirements inside the California grid
19 that would need to be maintained, and we'll be
20 updating stakeholders, as well, on any further
21 progress that BPA have been making.

22 The same implication here is actually on
23 the control automation of the DC intertie. This is
24 an issue that BPA is looking at, and we will be
25 using this forum to keep stakeholders informed of

1 what's happening there, as well as looking at the
2 potential benefits of further enhancements.

3 And the last issue, assigning a resource
4 adequacy value to imports, this is really looking at
5 how we can make the best, not just physical, but
6 recognize the benefits of any additional physical
7 capabilities, and actually assigning a resource
8 adequacy component to the increased capability, and
9 that is something we see needing to coordinate with
10 the Public Utilities Commission on, but really
11 getting going on that when some of the other actual
12 study work is a bit more advanced and we can frame
13 the conversation a bit more effectively.

14 And I've just put the schedule out here.
15 Last, this is tied to our 2018-19 Transmission Plan
16 Schedule. So we are looking at presenting results
17 at our November Stakeholder Session, preliminary
18 results, that is, and final results when we present
19 and then seek approval for the annual transmission
20 plan.

21 MS. RAITT: Thank you. So next, is Doug
22 Marker, from Bonneville Power Administration.

23 MR. MARKER: Thank you, and Mr. Chairman, I
24 appreciate the opportunity to be here for Bonneville
25 Power Administration. We came down last year for

1 your Workshop, and Kieran Connolly, our Vice
2 President for Generating Supply.

3 And what we tried to do was present a broad
4 context for the role of BPA, and particularly the
5 value of the flexible hydro in the Northwest
6 generating system for helping to address the issues
7 that you're looking at in this.

8 And so I wanted to give an overview or an
9 update from that presentation last year, and in
10 particular, how the work that Neil just described
11 fits into our broader strategy. As a reminder,
12 Bonneville Power Administration is a federal power
13 marketing administration in the Department of
14 Energy.

15 We manage the output of -- market the
16 output of 31 federal dams and one nuclear power
17 plant in the northwest. We operate three AC
18 interties into California and the DC, direct current
19 intertie, which goes from the Columbia River
20 directly into Los Angeles. So these are -- total
21 about 8,000 megawatts of transfer capacity.

22 As we described last year, we're responding
23 to an evolving electricity market in the west, with
24 greater -- with state goals emphasizing renewable
25 generation. And as the market has been changing,

1 we're looking at the long-term strategic objectives
2 for BPA.

3 Focusing on adapting to the new marketplace
4 and operating a commercially successful business,
5 two of the issues that I wanted to highlight are
6 just the need to modernize the federal power and
7 transmission system, and to obtain more value for
8 the flexibility of the hydro system.

9 Towards that end we are embarking on a grid
10 modernization effort, which we're discussing with
11 our stakeholders today in Portland to go through a
12 whole series of tasks to improve the capabilities of
13 the transmission system to operate in real time, and
14 to better integrate variable renewables.

15 We're focusing on automating processes,
16 incorporating real time data and analysis, and
17 increasing our visibility for the loads and
18 resources and flows to improve our abilities to
19 operate better in real time, and by doing so,
20 integrate renewable resources.

21 As we discussed last year, we see greater
22 opportunities to participate in the western markets.
23 Over the last year since we were here, more
24 northwest entities have joined the Western EIM, and
25 we are learning from their experiences and we are

1 now contemplating joining the Western EIM, and we
2 will be holding a workshop on July 24th to explore
3 that with our stakeholders.

4 It'll be a long process for us and it's
5 going to depend on the cost benefit for doing so.
6 But this is another step at a greater integration
7 between the northwest market and California. Neil
8 went through much of the detail.

9 I did want to stress that we are
10 cooperating in the study that you called for, for
11 both the California ISO and the Los Angeles
12 Department of Water and Power. We're looking at the
13 issues that Neil described with DTC, sub-hourly
14 scheduling, operational and physical expansions, and
15 some of the work that I describe in the grid
16 modernization efforts directly support that.

17 What's important for me to stress here,
18 especially in this venue, is that work relies on
19 collaboration with our partners in the northwest,
20 the ownership partners on the northern ends of the
21 interties, as well as our continued relationship
22 with the California ISO and the southern intertie
23 partners.

24 That's very important to us and so we're --
25 as we're engaging directly with the ISO we're also

1 trying to stay tied in, in the northwest. And
2 finally, to the end of finding more value for
3 flexible hydro, last year when we were down here
4 Kieran Connolly described that we market 16-hour
5 blocks of hydro right across the belly of the duck,
6 as was discussed earlier, and if we can find more
7 value to shape that so that we're better able to
8 meet those ramps we think there would be more value,
9 but we have to figure out how to do that.

10 So one of the concepts that's being
11 explored are the day-ahead market enhancements that
12 the California ISO has initiated a stakeholder
13 process for. So we're very supportive of that work
14 and engaged in that. So that is another example of
15 the improvements that have been made since last year
16 as we move forward on the strategies.

17 So that's a quick overview, and Mr. Chair,
18 I'd be happy to answer any questions.

19 CHAIR WEISENMILLER: Yeah. And I wanted to
20 obviously thank the ISO for responding to
21 particulars of my letter. I think, certainly, we're
22 looking for solutions on Aliso Canyon, and certainly
23 appreciate BPA and LADWP's participation in that
24 effort.

25 I think, again, it's a way to reshape the

1 way the West Coast Grid operates and look at, you
2 know, the opportunities today. I mean, obviously,
3 these relationships go back to, you know, I would
4 say the '60s at least.

5 And you know, I guess, actually, one of
6 Nixon's first actions was to stop the second DC line
7 from going into construction. So anyway, it's
8 certainly time to reexamine the opportunities. And
9 I think BPA's looking at joining EIM is certainly an
10 exciting possibility, if that goes forward.

11 And I think at the same time, the day ahead
12 market and the transmissions capability I think can
13 provide lots of value to both areas. I think part
14 of our challenges will probably be the allocations
15 of cost and benefits not only between the Pacific
16 Northwest and California, but among the various
17 parties in both areas.

18 But again, I think a lot of opportunity
19 here and, you know, you've heard how the world's
20 changing. Obviously, as we add more and more
21 renewables, also, prices in the west will tend to
22 head south, and so it's a good time for Bonneville
23 to figure out how to maximize its value and its
24 revenues out of these new opportunities.

25 So again, thanks for being here. Send my

1 best to Elliott. All right.

2 MS. RAITT: So that's all our morning
3 speakers. So we can go ahead and break and come
4 back at 1:05.

5 (Recess at 1:01 p.m., until 1:07 p.m.)

6 MS. RAITT: All right. So okay. Welcome
7 back to our Workshop on Renewables, Integrated
8 Renewables. And we're going to be talking about
9 integrating solar, and the first speaker this
10 afternoon is Lou Fonte from the California ISO.

11 MR. FONTE: Good afternoon, and my name's
12 Lou Fonte. I work at the California ISO. Oh.
13 Yeah. And my name is Lou Fonte. I work at the
14 California ISO, and the purpose of my brief
15 discussion today is to just talk about some behavior
16 that we're seeing with inverters that are connected
17 to the transmission system.

18 Now, I want to make the distinction, it's
19 not low-voltage. It's the high-voltage stuff. And
20 I'm going to try and do this in six minutes. So
21 let's see if I can do that. So what's happened is
22 last -- in August of 2016 there was a fire down in
23 the Southern Cal area call the Blue Cut Fire.

24 This fire was burning underneath some
25 transmission lines, and what typically happens in a

1 situation like that is that smoke comes up, gets
2 into the lines and then the lines cause a short-
3 circuit or we like to call it a fault, and that puts
4 a brief disturbance on the system.

5 And what we noticed is that we lost a
6 significant amount of solar PV generation during
7 these events. The -- we got together with Southern
8 Cal Edison and we talked about this stuff. We did
9 an investigation, and based on what we found we
10 thought it would be a good idea to take it to NERC,
11 which we -- to WECC, which we did, and then from
12 there we talked with WECC and WECC said, you know,
13 we really think this should go to NERC.

14 So it did and then NERC looked at the
15 results and said, you know, we're going to form a
16 task force to look into this. So all of that
17 happened around January of last year. And since
18 that event that happened in August of 2016 we've had
19 about 13 more.

20 There were several on the same day, and the
21 amount of generation that we saw, that dropped,
22 varies. It depends on the type of default and how
23 much solar is on at that time of the day, but some
24 of the amounts are significant.

25 You know, 1178 megawatts was the one that

1 started our investigation. That's -- just to put
2 that in perspective, we hear the term, you know,
3 100, 200 megawatts. Well, 1178 megawatts is the
4 equivalent of one unit at Palo Verde. So you know,
5 it's not trivial.

6 So the task force that was created to look
7 into this, it's got a fancy name, the IRPTF. I
8 guess everyone uses acronyms these days. That
9 stands for the Inverter-based Resource Performance
10 Task Force. And we started by doing a deep analysis
11 of the Blue Cut fire event.

12 That was the event that occurred in August
13 of 2016. And based on the data that we were able to
14 look at and what we were able to piece together, we
15 determined that there are a couple of things that
16 happened.

17 One, there seemed to be a good amount of
18 inverter-based generation that tripped due to what
19 it perceived to be as a frequency error, but it
20 wasn't. It was the way the inverters were
21 programmed to make these decisions.

22 And so we worked very closely with the
23 inverter manufacturers. We've come up with a work
24 around, which basically is coming up with new
25 settings and associated time delays with those

1 settings.

2 And the inverter manufacturers went out and
3 instituted those changes and I'm happy to say that
4 since they we haven't had anymore instances of
5 inverters dropping offline because of a frequency
6 calculation error. So we consider that one to be
7 mitigated.

8 There are two more items that we're
9 currently working on and they are very much
10 interrelated. So looking at the slides, it might be
11 a little bit confusing, but the two items are
12 something called momentary cessation and the other
13 one is tripping due to transient over-voltages.

14 So momentary cessation is a mode of
15 operation where the inverter senses that it's not
16 operating in the system at -- where it should be in
17 the normal parameters. And what it does is it just
18 momentarily ceases to operate.

19 And that's basically -- we used to call it
20 blocking, but now it's got a fancy buzz term called
21 momentary cessation. But in effect, momentary
22 cessation is turning generation off. So it's not a
23 trivial thing to consider.

24 There are several things that cause it.
25 The most common thing is where we have a transient

1 low voltage. And the third thing is where we have
2 inverters tripping due to a transient high voltage.
3 So these are the two open items that we're wrestling
4 with right now on the IRPTF.

5 NERC has issued an alert which addresses
6 both of these problems in very great detail and
7 provides some pretty solid recommendations on what
8 the generator owners can and should do to minimize
9 the probability of having either of these problems.

10 In addition, the IRPTF has issued a rather
11 comprehensive guideline on how inverters should be
12 configured and what their minimum performances
13 should be and operation and how to set them up and
14 diagnostic equipment.

15 That guideline has been issued for public
16 comment and those comments are due back to NERC on
17 the 29th of this month. And so what are the issues?
18 I would say that the main complicating issue here is
19 the fact that we don't have national standards.

20 We do have -- for transmission-connected
21 inverters. We do have national standards for
22 distribution-connected inverters, and we also have
23 Rule 21, but nothing on the national level yet. So
24 what is the ISO doing about this?

25 Well, there's a couple of things and this

1 is my last slide. What the ISO is doing is, first
2 of all, we're in the middle of what we call and IPE
3 process, which is an interconnection process
4 enhancement.

5 And what we're doing is through a
6 stakeholder process we're proposing to change the
7 generator interconnection agreements to make, as
8 requirements, the recommendations that are in the
9 NERC alert. So that's our main thing.

10 We're continuing to work to develop a
11 rather detailed database of solar PV generations so
12 that we know exactly how many inverters are out
13 there and how they're programmed. We have made
14 adjustments to our contingency reserves, and we'll
15 continue to look at that.

16 We are continuing to work very closely with
17 the inverter manufacturers so that we can get better
18 and more accurate models so we -- our studies will
19 predict better what's happening or what could happen
20 out there.

21 And finally, the ISO has filed a couple of
22 SARs, which are Standard Authorization Requests at
23 NERC, requesting that NERC undertake the development
24 of a new standard, a national standard, for the --
25 that governs the interconnection of inverter-based

1 generators at the transmission level. And that is
2 the end of mine.

3 CHAIR WEISENMILLER: If you know, what
4 entity would develop the standards?

5 MR. FONTE: Those standards would be
6 developed by NERC.

7 CHAIR WEISENMILLER: By NERC.

8 MR. FONTE: Yeah.

9 CHAIR WEISENMILLER: And any coordination
10 on the international level, let's say Germany or
11 China or other areas which develop --

12 MR. FONTE: Yeah.

13 CHAIR WEISENMILLER: -- installing
14 substantial amounts of PV?

15 MR. FONTE: Well, we -- a lot of the
16 recommendations that are in the NERC second alert,
17 and which we're incorporating into our generator
18 interconnection agreements are based on the German
19 standards, specifically, eliminating this use of
20 momentary cessation. So we based that more or less
21 on what's happening in -- what's happened in
22 Germany.

23 COMMISSIONER HOCHSCHILD: So I think one
24 point of leverage for us is the eligible equipment
25 list that we have here in California and we maintain

1 at the Energy Commission. It is used by I think 17
2 other states around the country -- Natalie, am I
3 correct?

4 MS. LEE: Yes.

5 MR. FONTE: At least -- yeah. And one of
6 the things that we're going to be doing and I want
7 to push to basically eliminate dumb inverters from
8 that list. So that first -- for the CSI systems
9 that required CEC eligible list inverters, you know,
10 they're hitting their 10-year mark and those systems
11 will begin to need to be -- to replace their
12 inverters and we want to make sure they have voltage
13 regulation and telemetry.

14 I would welcome any input you have on other
15 requirements that make sense from your perspective,
16 as we move ahead with that. My understanding
17 anecdotally from talking to inverter manufacturers
18 is these features are very, very low cost to add, in
19 the neighborhood of a couple dollars for telemetry
20 and voltage regulation.

21 So I don't think it's a cost impact and I
22 do think, you know, long-term, as I said earlier
23 this morning, we all need to be good citizens of the
24 grid, every DG PV system should be in a position to
25 help. And I was very impressed, as I mentioned, with

1 the study you did, along with INREL a year and a
2 half ago on that first solar project, looking at all
3 the ancillary services, grid support that a fully
4 optimized, you know, utility scale PV system can
5 provide the grid, including nighttime benefits, as
6 well.

7 And obviously, we have this fleet, we're
8 going to hit a million rooftop solar energy systems
9 this year, and we want, you know, to be maximizing
10 the grid benefits for all that. So I welcome your
11 input on any other requirements that you think would
12 be suitable for us to consider in order to be on the
13 CEC eligible equipment list.

14 MR. FONTE: Okay. The only caveat I would
15 have to that -- I fully agree -- but the only caveat
16 I would have to that is that there -- I don't think
17 you can buy a dumb inverter anymore that would be
18 used for the interconnection to the bulk electric.

19 Yes, maybe from rooftop solar and stuff
20 like that, yeah, that's still an option, but when it
21 comes to the major manufacturers that we see here in
22 the U.S. or even in Germany and other countries, for
23 the inverters that are meant to be hooked up to the
24 transmission system where you're not on a rooftop,
25 but you have maybe a couple of acres or more of

1 solar panels and you're putting out 20, 30, 50
2 megawatts, those inverters basically all have the
3 features that you're probably thinking of right now.

4 COMMISSIONER HOCHSCHILD: Yeah, I think
5 that's true. I think I'm talking more for DG, just
6 because I think as we -- you know -- adopt the new
7 Code for new construction, you know, the solar
8 mandate, there's a lot of DG role there.

9 CHAIR WEISENMILLER: Yeah. No. I remember
10 meeting with one of the solar executives who
11 basically said they used smart inverters elsewhere
12 in the country, but not in California, since it
13 wasn't required here. So the idea is to make sure
14 it's required here.

15 MS. RAITT: All right. Thank you, Lou.

16 Our next is Alex Au, from NextTracker, and
17 we have Josh Weiner on the line, on WebEx, to help
18 with any questions.

19 MR. AU: How do I get to --

20 MS. RAITT: Just one moment.

21 MR. AU: My name is Alex Au, CTO, co-
22 founder of NextTracker. On the line, Josh Weiner,
23 CEO of SepiSolar. We've had a tremendous amount of
24 support together with regard to creating a flexible,
25 renewable curtailment with a base load power plant.

1 So talk a little bit about curtailment and
2 the solutions that NextTracker has come across so
3 far. So just a couple of examples of curtailment.
4 Right now, with Hawaii being 100 renewable in 2045,
5 curtailment predictions of 10 percent, 20 percent,
6 50 percent are expected.

7 California found that there is a
8 curtailment of 30 percent in March of 2017, and
9 China, as they continue to expand, are seeing
10 curtailment, as well. And it's interesting to
11 highlight it from this perspective, because when you
12 see the numbers like this it puts things into
13 perspective that most people don't have goals of
14 increasing renewable assets that are even this great
15 in a period of a year or so. Yet, we're hitting
16 curtailment rates.

17 So the solution that we've come to from
18 NextTracker's perspective and SepiSolar is that
19 renewable assets must be designed from a base load
20 from the very beginning. And we've run a lot of
21 models on this and we've done a lot of RFPs to find
22 the right -- different -- the right, correct
23 inverter partners, software partners and storage
24 partners, and we believe that this can be done with
25 a four to eight-hour storage partnering t PV or

1 renewable assets like wind.

2 DC coupled with high AC -- DC to AC ratios
3 with de-rated inverters are going to be critical, as
4 well. Once we have selected our inverter partners,
5 we work directly with them to incorporate special
6 firmware that allows us to say, take a 30-kilowatt
7 inverter or megawatt inverter and de-rate it down to
8 15 or half-megawatt, and that allows us to clip --
9 instead of clipping, lose the store -- energy from
10 the PV to clipping.

11 We actually get to keep it in storage and
12 use it at a later time. And again, that creates a
13 very flat, predictable base load output. And the
14 key to all that is the software controls as we
15 integrate the PV and storage hardware so that we
16 have that predictable output, regardless of
17 seasonability and weather.

18 I put a quote her that really resonates
19 with me. It's an interesting growing pain of our
20 increasingly green grid that we're curtailing the
21 cleanest and newest resources on the grid and
22 leaving alone the 2000 plus megawatts of mostly
23 fossil fuels unreported.

24 So to highlight kind of how we've built
25 this out at NextTracker is that it's really about

1 creating an ecosystem of software. And so when we
2 have the hardware, like the tracker, which
3 NextTracker has approximately 13 gigawatts worth of
4 deployed product on, as we continue to grow this
5 ecosystem we have selected products like lithium ion
6 storage solutions, as well as a flow solution.

7 We're looking at, again, building a longer
8 duration, four to eight-hour base load solution.
9 And what's important on that is that we have our
10 software teams working to have that all integrated
11 together, as well as having a NERC's compliant
12 structure around this.

13 And so these are -- from the standpoint of
14 smart solutions we can connect these. Just as you
15 do with your phone software, we can call into a
16 plant, do an over-the-air software input, software
17 update that allows us to not only improve security
18 features, but also features like voltage regulation
19 and whatnot.

20 Another point, actually, that I want to
21 make very specific about the smart inverters is I
22 think that it's going to be critical, if it's not
23 already been done, that we include bidirectional
24 inverters on the eligible electric equipment list.
25 That allows us the opportunity to future proof it

1 for energy storage applications.

2 So this is just a little bit of a visual of
3 what I was talking about with regard to the de-rated
4 inverter. In this scenario we have a 25-kilowatt
5 inverter that allows us to -- has the functionality
6 to handle the power, but if we de-rate it to 15
7 kilowatts, what happens is that everything above the
8 15-kilowatt line, it's stored and then used later,
9 at a later time.

10 And with the use of our smart inverters and
11 working with UL and getting different ratings, we
12 can actually update that through either firmware or
13 over the air -- at a later time at different
14 increments and size them appropriately.

15 So this is winds for everybody from the
16 perspective of NextTracker provides a flexible
17 curtailment proof solution to get more solar and
18 wind to the customer, less power impact to the grid
19 and a NERC set compliant cyber secure technology to
20 the entire ecosystem, and for the customers'
21 utilities, product and services industry.

22 This is a little nod to our first solar --
23 our Tesla Solar City friends, but I like this graph
24 because it really highlights that we all see the
25 duck curve standing alone, and this graph shows the

1 duck curve and how it affects the other power
2 generation sources.

3 And what's critical to note here, when you
4 look at the base load portions, if we start thinking
5 about renewable assets as a base load, then we can
6 easily start replacing that bottom section with the
7 flexibility of the energy storage. It can come and
8 take care of everything, all the peaks and ups and
9 downs at later times.

10 The key here, though, is, from my
11 perspective, the industry is extremely immature.
12 And so when you go out and purchase a car -- and
13 then my analogy is when you go purchase a car you
14 don't go to one dealership to buy tires and wheels,
15 another dealership to buy the chassis and another
16 dealership to buy the engine, and then you buy the
17 engine management unit and then bring it all home
18 and write the software to make it all work together.

19 Again, bringing it back to the point of, we
20 need to start thinking about renewable generation as
21 a basal power plant with the software integrated by
22 the manufacturers to help run that efficiently to
23 the grid, have it connected in a NERC compliant
24 fashion so that we can update and make necessary
25 changes as different issues come up. So it's

1 actually -- that's it.

2 COMMISSIONER HOCHSCHILD: Alex, can you
3 just give us ballpark since when you include this
4 four and eight-hour storage, how -- just roughly how
5 that affects the PPA price per utility scale
6 projects?

7 MR. AU: Josh, do you want to take that
8 one?

9 MR. WEINER: Yeah. So you -- when -- by
10 adding storage you are adding a revenue stream
11 there's usually some *17:33:10 that is evolving when
12 you have *17:33:12 lowering power impact for the
13 grid or just addressing demand on -- or demand
14 charges, or just moving energy into a more expensive
15 time of the day, you're generating a revenue -- or a
16 value doing *17:33:31 as a cost.

17 So the day price typically goes up as the
18 revenue that you're adding or the value that you're
19 adding by putting the storage in goes up
20 incrementally.

21 So for example, a store only PPA might be,
22 well, let's just make it another *17:33:50 adding
23 source to it might, for the purposes of moving the
24 solar generation to the best part of the day might
25 end up to be a half *17:33:59.

1 COMMISSIONER HOCHSCHILD: I understood
2 about three-quarters of that. Alex, maybe you could
3 translate. The connection was no good.

4 MR. AU: Sure. Let's say -- I'm going to
5 actually say it a little bit differently. The PPAs,
6 a lot of the value comes from predictability, as
7 well. And so to be able to come out and say, you
8 know, between a four and eight-hour we can give you
9 a very flat base, right.

10 There's a lot of value in that. And at the
11 same time, in coming back in being able to -- if you
12 have the connectivity to the site you can look at
13 weather patterns moving forward and you can insure
14 that there is output from the battery -- stored-up
15 batteries, like say if you're going to have a storm
16 or a weather event the next day.

17 In our system we've seen a lot of scenarios
18 where when people are buying the components
19 separately that a cloud cover may come across for
20 just even 15 minutes and the batteries continue to
21 charge, expecting it from the renewable assets, than
22 actually it pulls from -- will be able to
23 communicate with each other and make sure that it
24 doesn't do that, so that the output to the grid is a
25 lot more predictable, so.

1 COMMISSIONER HOCHSCHILD: I understand
2 that's the impact, but I'm just saying, just if --
3 let's say the project is whatever, \$30 a megawatt
4 hour or \$25 a megawatt hour, to add the storage, I
5 mean, is it -- are you doubling the price? Is it a
6 -- or just ballpark? What's the incremental cost?

7 MR. AU: It depends on what technology, but
8 right now it's slightly over double.

9 COMMISSIONER HOCHSCHILD: Okay.

10 MR. AU: But we can see within the next 10
11 megawatts, especially on a slow product, it should
12 be far less than double.

13 COMMISSIONER HOCHSCHILD: Okay. Great.
14 Thank you.

15 CHAIR WEISENMILLER: I was just going to
16 note, I docketed two articles, one the German
17 experts saying base load is bad, and going through
18 his experience in Germany, how he reaches that
19 conclusion. The other is a Stanford Cal Tech study
20 that takes 36 year of weather across the U.S.,
21 assumes perfect transmission, everything else, and
22 looks at sort of the amount of storage you'd need on
23 solar, or the right mixtures between solar and wind.
24 So anyway, I'd just encourage you to look at those
25 two.

1 MR. AU: Thank you. I just want to answer
2 that a little bit more directly. After about 10
3 megawatts of deployment on the supply chain side
4 we've seen the flow numbers for a full storage
5 solution fall below, all in, \$300 a kilowatt hour.

6 MS. RAITT: All right. Thank you.

7 Next is Sandra Burns from PG&E.

8 MS. BURNS: Hi, there. So I work in the
9 Structure Transactions Group in Energy Procurement.
10 So I'm talking about how we're approaching these
11 issues from a contracting perspective more than a
12 technical perspective.

13 And just -- probably seen this slide before
14 -- our portfolio mix last year, we hit 33 percent
15 renewables ahead of schedule, 80 percent carbon
16 free, and we're expecting our renewable position to
17 get even longer, both because we still have new
18 resources coming online that we signed contracts for
19 a few years ago, and also, because we're losing so
20 much load to CCAs.

21 So we really are not in the position of
22 being a buyer going forward, except for mandated
23 programs, and we're actually in the position of
24 trying to sell our surplus. So you know, the way we
25 looked at the need for operational flexibility has

1 greatly evolved over time.

2 You know, when we started doing this back
3 in 2004, and really through 2009-10, we weren't
4 worried about having too much energy on the grid in
5 any particular hour, and really, the need to curtail
6 it. We were really worried about people not
7 producing enough to meet their contractual minimums
8 so we would meet our RPS requirement.

9 So the old contracts prior to about 2011,
10 they don't have any language that allows economic
11 bidding. The only time we can turn someone down is
12 if there's -- over a liability curtailment ordered
13 by the CAISO or by the participating transmission
14 owner.

15 And then over time we started kind of
16 getting more comfortable with our RPS position, more
17 worried about over-deliveries on the system in any
18 particular hour, and really, the need for us to be
19 able to bid these things economically.

20 So it started with us having a fixed
21 amount, maybe 100, 250 hours of economic
22 curtailment, and even in the year when maybe we
23 didn't need that much, we still need the option to
24 be able to economically bid -- all time. So we
25 don't have to worry about if we use an hour or

1 curtailment here it won't be available later on
2 during the year.

3 And then all our contracts going forward,
4 roughly to 2015 and later, they all allow us full
5 operational flexibility. We can bid these things.
6 We can curtail them. We actually paid for the
7 curtailment and then we still have the reliability
8 curtailment that's not compensated.

9 So just a little bit more detail about how
10 our current contracts work. So the seller tells us
11 whether they're available, what the weather is on
12 the site, and then PG&E is a scheduling coordinator
13 and we are responsible for economically bidding it
14 into the market every day.

15 The seller is responsible for having the
16 appropriate equipment to respond to our signal, and
17 then we pay. If the meter turns, we pay for metered
18 energy and then we also pay what we call deemed
19 delivered energy. So that's what would have been
20 produced, but for their economic bid not being
21 accepted.

22 And right now, our standard is the estimate
23 of what would have happened absent the curtailment
24 is the CAISO VER Forecast. So the goal is really to
25 make the seller indifferent to whether we curtail

1 them or not.

2 And that's proved, like, a very successful
3 model. The sellers have had no trouble financing
4 that in the market, because they have a secure
5 revenue stream. And then the other thing that's in
6 there is they do have an ongoing obligation to
7 comply with all CAISO rules, NERC rules.

8 So if there was any change to any kind of
9 requirement, they would be required to comply with
10 that. So but we do have this large portfolio of
11 contracts where we don't have the operational
12 flexibility that we might like.

13 So we've been going through substantial
14 negotiation efforts over the last couple years to
15 get operational flexibility in our contract. We've
16 negotiated another like 1,000 megawatts so far. And
17 the seller benefits. It's a win/win. The seller
18 benefits because they're not in the situation where
19 the CAISO is making prices more and more and more
20 and more negative until somebody accepts a pricing
21 melt, or there's a reliability curtailment in the
22 end.

23 So they don't face a reliability
24 curtailment, which isn't compensated, and we benefit
25 because we're not being -- seeing even lower

1 negative prices and basically paying to put that
2 renewable energy onto the grid.

3 And then we've also kind of -- we negotiate
4 those when we can, and in many cases we're
5 negotiating something else anyway, like FERC 764
6 Amendment. So whenever we are in a negotiation we
7 try to get additional contract flexibility.

8 I'd say we're probably limited. It's not
9 something that we can do with a change in price,
10 because we do -- we're trying not to reopen the
11 contract for PUC approval. So we're trying to make
12 changes that don't change the risks and rewards for
13 each counter-party too much.

14 And we do have some challenges. Some of
15 these old contracts, they don't have the equipment
16 and that requires money, and so they're worried
17 about that. Probably the biggest one when we don't
18 have terms and conditions and we try to get people
19 to use our form language, but kind of agreeing to
20 how you compensate for some -- for deemed delivered
21 energy, how you estimate what would have been
22 produced is often prone to lengthy discussion, and
23 then just define contract language about what's a
24 CAISO curtailment that we don't pay for, versus
25 what's an economic curtailment that we do pay for.

1 You know, it takes a long time to get those
2 words exactly right. The lost PTC for wind is
3 always an issue for those guys. And then basically,
4 the fact that they have to respond to a signal each
5 and every hour creates risks for them, too, in terms
6 of, if you know, there's penalties in the contract
7 if they don't follow orders.

8 So anyway, that's what we're doing. Like
9 we take every opportunity to try and get additional
10 operating flexibility when we can. And that's it.

11 CHAIR WEISENMILLER: Yeah. Sandy, a couple
12 of questions.

13 MS. BURNS: Sure.

14 CHAIR WEISENMILLER: If you look back at
15 your chart that had the three tranches of contracts.

16 MS. BURNS: Um-hum.

17 CHAIR WEISENMILLER: What's the split for
18 your portfolio? Either -- maybe a rough idea of how
19 many megawatts do you have, that you have nothing,
20 you know versus some.

21 MS. BURNS: I would say it's mostly in the
22 first two.

23 CHAIR WEISENMILLER: Okay.

24 MS. BURNS: Yeah. I'd say it's more in the
25 first two, because starting about 2015 we were --

1 CHAIR WEISENMILLER: Yeah.

2 MS. BURNS: -- not doing as much
3 procurement. But then, you know, those are the ones
4 we've been negotiating.

5 CHAIR WEISENMILLER: And what's the total
6 amount of contracts you have?

7 MS. BURNS: Oh, God, I don't know --

8 CHAIR WEISENMILLER: Okay. Many? I was --

9 MS. BURNS: Yeah.

10 CHAIR WEISENMILLER: -- trying to
11 understand your, you know, contract --

12 MS. BURNS: Yeah.

13 CHAIR WEISENMILLER: -- you know, your
14 portfolio management challenges, shall we say.

15 MS. BURNS: I mean, one thing we have found
16 is, like, a big contract and a small contract has
17 pretty much the same portfolio management challenge.

18 CHAIR WEISENMILLER: Okay.

19 MS. BURNS: Like three megawatts or 300.

20 CHAIR WEISENMILLER: Right, and I could
21 believe it. And have you guys tried to negotiate
22 contracts where people go to smart inverters and
23 start trying to play less energy but more ancillary
24 services?

25 MS. BURNS: So again, we're really not

1 buying, except for the mandated programs.

2 CHAIR WEISENMILLER: All right.

3 MS. BURNS: So --

4 CHAIR WEISENMILLER: These would be
5 contracted, renegotiations, I guess, is a better way
6 of putting it.

7 MS. BURNS: Yeah. It hasn't been the
8 focus, I would say.

9 CHAIR WEISENMILLER: Okay.

10 MS. BURNS: Yeah.

11 CHAIR WEISENMILLER: Thanks.

12 MS. RAITT: Great. Thanks.

13 And our next is Abtin Mehrshahi from the
14 California Energy Commission, and Natalie Lee is
15 also here to help field questions.

16 MR. MEHRSHAHI: All right. Good afternoon,
17 everyone. I'm going to briefly talk about the
18 Energy Commission's Solar Equipment List.

19 MS. RAITT: We need to turn on the mic, I
20 think, maybe, or hold it closer.

21 MR. MEHRSHAHI: Let's bring it closer. How
22 about that?

23 MS. RAITT: Okay.

24 MR. MEHRSHAHI: Better. All right. Okay.
25 As I mentioned, I'm going to talk briefly about the

1 Energy Commission's Solar Equipment Lists, and I
2 will start with a brief background of solar
3 equipment lists.

4 Then I will go to what type of solar
5 equipments we have listed, more specifically, where
6 to list, very general intro about smart inverters
7 under Rule 21. And at the end I will finish with
8 the current inverter listing requirements that are
9 in place.

10 Senate Bill 1, passed in 2006, directed
11 Energy Commission, in consultation with Public
12 Utilities Commission, called publicly owned electric
13 utilities and interested members of public to
14 establish eligibility criteria for solar energy
15 systems receiving ratepayer funded incentives.

16 In part, SB1 required that the Energy
17 Commission establish rating standards for equipment,
18 components and systems to assure ease of their
19 performance. By just the mandates of SB1 Energy
20 Commission developed and adopted the guidelines for
21 California Solar Electric Incentive Programs, more
22 commonly referred to as SB1 Guidelines.

23 The latest version, the 6.1 adopted in
24 November 2016, is accessible by the link that you
25 can see on the slide. Included in SB1 Guidelines is

1 the requirement that all major solar energy system
2 components eligible for ratepayer fundings are
3 required to be included in the Energy Commission's
4 list of eligible solar equipment.

5 I would like to call your attention to the
6 fact that the lists were created to support solar
7 incentive programs. However, as your Commissioner
8 mentioned, the Energy Commission recognizes that
9 these lists are being used by stakeholders for other
10 purposes, as well.

11 We have different types of lists, like PV
12 models, inverters, meters, as shown in this slide.
13 The equipment lists contain input and test data
14 provided by manufacturers, as well as other
15 information, such as efficiency ratings, that will
16 be used in incentive calculations.

17 And the lists currently include a large
18 number of pieces of equipment, as you can see in
19 this slide, and the SB1 Guidelines provide criteria
20 for adding equipment to the list; also, the
21 procedure for removing equipment from the list.

22 The Energy Commission has the right to
23 remove any equipment from the list for any reason,
24 including but not limited to poor equipment
25 performances, concerns about the quality or lack of

1 manufacturer support for equipment maintenance or
2 warranties.

3 Okay. Let's move on to information that's
4 specific to inverters. Energy Commission solar
5 inverter list includes two categories of inverters.
6 The first one is utility interactive inverters, that
7 referred to them as traditional or non-smart
8 inverters.

9 They have been listed since 2007 and are
10 currently still being listed by Energy Commission at
11 this time. The other category is smart inverters.
12 We refer to them as grid support utility interactive
13 Inverters, since it's a term that is being used in
14 UL 7041 Supplement SA, the test protocol for smart
15 inverters, but commonly we refer to them as smart
16 inverters.

17 Under Electric Rule 21 by CPUC that was
18 implemented for the smart portion on September 8,
19 2017, any solar project that applies for
20 interconnection to the grid in one of the IOU's
21 territories must use smart inverters.

22 IOU interconnection process is referred to
23 on Energy Commission list for support of the
24 approval of interconnection applications, something
25 like a fast track interview *17:49:14. Therefore,

1 the Energy Commission extended the procedures and
2 requirements for inverter request in 2017 to support
3 the valuation of the smart inverters.

4 And to date, the Energy Commission has
5 listed over 400 smart inverters, in addition to
6 3,000 traditional ones that we have on the list. As
7 shown here, those represent 12 percent of all
8 equipment we have on the inverter list.

9 Smart inverters. Well, the volume of
10 distribution PV generation system has continued to
11 grow, and the penetration levels have the potential
12 to impact the grid operations. The smart inverters,
13 which can modulate output and communicate actively
14 with the grid operators, are increasingly seen as a
15 way to enhance grid stability and enable wider
16 adoption distributed energy resources, DERs, while
17 minimizing the cost to upgrade -- having significant
18 upgrade to the grids.

19 The CPUC electric Rule 21 is a tariff that
20 describes the interconnection, operation and
21 metering requirements for generating facilities
22 connected to the investor-owned utility distribution
23 systems for which CPUC has the jurisdiction.

24 And smart inverter functionalities are
25 being implemented in three phases. As I mentioned,

1 Phase 1 was implemented in last September 2017. A
2 new amendment came out and it will be added to Phase
3 1. The deadline for that is next month, July 26.

4 Phase 2 includes default protocol for
5 communications between inverter, DERs and DER
6 aggregators. It is expected to be implemented on
7 February 22nd of next year, 2019. Phase 3, some
8 functions are expected to be implemented on the same
9 date, February 22nd, 2019.

10 Some other functions will be implemented
11 sometime in 2019. It's not finalized. Okay. As
12 you can see in this slide, this is the overall
13 procedure for submitting the *17:51:20 for inverter
14 procedure. The complete list will have a completed
15 request form, a certificate and test report from
16 National Recognized Testing Lab that it's able to
17 perform the tests under UL 1741, and Rater Inverter
18 Efficiency Form, which the data will be used in
19 incentive calculations. Smart inverters should
20 mention specifically, supplement the same section of
21 UL 1741, both in test report and certificate.

22 And the last slide is the snapshot of the
23 inverter list, that we have different inverters,
24 smart inverters and non-smart ones, and additional
25 data for smart inverters on the list are included on

1 the certificate date, and firmware that was tested
2 for good support functionality.

3 And as I mentioned before, there are
4 multiple changes coming up regarding Rule 21 and
5 smart inverter requirements and we're currently
6 working with CPUC, utilities, testing labs and
7 manufacturers to evaluate the need and expectations,
8 for updates to the current list to address these
9 changes, and we will explore whether the list can be
10 further expanded to meet those needs or not, and if
11 yes, how. I was able to finish on time. I will
12 welcome any questions that you guys might have.

13 CHAIR WEISENMILLER: Yes. So did we
14 distinguish in your list between inverters for
15 transmission versus distribution?

16 MR. MEHRSHAHI: No.

17 CHAIR WEISENMILLER: Okay.

18 MR. MEHRSHAHI: They're all in the
19 transmission side -- the distribution side. I'm
20 sorry.

21 CHAIR WEISENMILLER: And the question part
22 would be, would it be better if we distinguished and
23 had different requirements for transmission
24 inverters versus distribution inverters?

25 MR. MEHRSHAHI: That's a good question,

1 Commissioner. Most of the testing protocols that we
2 have right now is on the distribution side and for
3 lower capacity inverters. For high voltages we
4 don't have, at least as my knowledge, we don't have
5 an accomplished testing protocol for them.

6 But that's an interesting question and it's
7 a topic we can explore more and evaluate more.

8 COMMISSIONER HOCHSCHILD: Yeah. I think
9 the Chairman raises a good point, because I think
10 there's two things that I'd like us to accomplish
11 with the list this year. One of them is really
12 reading it so that we don't have dumb inverters on
13 the list.

14 But the other is, really, how can we make
15 the list more user friendly? There's over 20,000
16 pieces of equipment. It's three things. It's
17 modules, meters and inverters, and it's mostly
18 modules.

19 But you know, I think when we do this
20 Workshop I think that's the other question I'd like
21 to get feedback from stakeholders, how can we better
22 organize it. It's a lot to work through and, you
23 know, I'd welcome -- I see, you know, Mel Charles is
24 here from Sunrun and others, you know, who are in
25 the industry, and we'd really like the participation

1 of as many stakeholders, you know, just to give us
2 constructive feedback on how to make it user-
3 friendly.

4 And do we have a date for that, or we're
5 still working on that, Natalie?

6 MS. LEE: We've held a date in late August,
7 roughly the 23rd.

8 COMMISSIONER HOCHSCHILD: August 23rd.

9 MS. LEE: Late August. We have a hold on
10 that date, but we have not vetted it with our
11 stakeholders yet to make sure it works.

12 COMMISSIONER HOCHSCHILD: Yeah.

13 MS. LEE: Then we have a backup, but in the
14 same time frame.

15 COMMISSIONER HOCHSCHILD: Okay. And
16 really, just, you know, I want to really insist that
17 we get all of the top inverter manufacturers there.
18 We really want their participation.

19 CHAIR WEISENMILLER: Okay. I had a couple
20 questions. So you mentioned Rule 21 in the PUC. Do
21 we have any process to pull the POUs in to use this
22 list?

23 COMMISSIONER HOCHSCHILD: So my
24 understanding is it's a condition of interconnection
25 through -- that the PUC requires today, but I don't

1 think the POU's are obligated at all. Am I wrong on
2 that?

3 MS. LEE: You're not wrong.

4 COMMISSIONER HOCHSCHILD: Okay.

5 CHAIR WEISENMILLER: Yeah.

6 MS. LEE: They are not obligated. Many of
7 them do have similar smart inverter requirements in
8 their areas. Some of the larger ones do not.

9 COMMISSIONER HOCHSCHILD: Yeah.

10 CHAIR WEISENMILLER: I was thinking this
11 over-logic on smart inverters should be as
12 applicable in the POU service territories as IOU.
13 And so this might be something that if we reach out,
14 you know, that not only other states use our list,
15 but maybe even the POU's in California.

16 (Laughter)

17 COMMISSIONER HOCHSCHILD: Excellent point.

18 CHAIR WEISENMILLER: And in Rule 21 is
19 there any requirement for not only PV, but say
20 storage or other DER, to use smart inverters, or to
21 use our list I guess is a better way of putting it.

22 COMMISSIONER HOCHSCHILD: Yeah?

23 MS. LEE: So it's an interesting question.
24 The list -- the inverters on our list may be used
25 for storage applications. We don't require

1 information on the use. As long as it has the
2 potential to be used in a solar energy system it's
3 eligible for our list.

4 We have, however, have had quite a bit of
5 interest from the industry in looking not just at
6 the inverter components to storage, but storage
7 itself and whether we should be including -- have
8 that included on our list program.

9 We've been exploring whether we have
10 authority to do that, but we've definitely heard the
11 need.

12 CHAIR WEISENMILLER: Yeah. I tend to agree
13 with renewable Commissioner Hochschild. The first
14 step is to get the dumb inverters off, but the
15 others, probably a good time to just step back and
16 do some thinking about the list and how to make it
17 most useful, not just how to -- you know -- trying
18 to weed out the large number and figure out some way
19 to make it more comprehensive, but also just, you
20 know, since there are other, similar -- other uses
21 that this list could be put to that can help drive
22 innovation.

23 COMMISSIONER HOCHSCHILD: Yeah. I mean,
24 look, the purpose -- part of the purpose of the list
25 is to avoid what happened, you know, with solar

1 thermal in the 1980s where a bunch of fly-by-night
2 companies put crappy products on people's homes that
3 broke, and that set back the clock not just for the
4 solar thermal industry, for the whole solar industry
5 for many years.

6 And we want to insure what's going in today
7 is high quality, and that's the reason for the list
8 and I think it's been helpful. But we need to kind
9 of push the envelope.

10 I mean, Alex, I'm curious. You've been in
11 the solar industry for a long time. Do you have any
12 thoughts on the list yourself, off the top of your
13 head? I know you're dealing -- you're in the
14 utilities skills phase mostly now, but.

15 MR. AU: I agree with you that the list is
16 very valuable. I think one thing that we should
17 focus on is having a way that all the modules and
18 the inverters in the *17:58:29 (inaudible) out
19 there, that could be in a position where you're
20 thinking about it more like a power only
21 perspective, right.

22 So you plug in batteries to the inverters,
23 the modules and they just -- I think that with this
24 list you can really create that standard, and it's
25 essentially what NextTracker's trying to do,

1 creating that first *17:58:55 (inaudible) platform
2 first, and then everything else can plug in. It
3 doesn't matter what type of technology is there.

4 I think that the list has an opportunity to
5 really get *17:59:03 off the storage site to
6 *17:59:05 done a lot of work on this one where we're
7 putting different categories in and can -- either a
8 high duty cycle, low duty cycle or middle for
9 batteries, and giving different characteristic
10 requirements out of that *17:59:21 (inaudible) I
11 think some of the frustration is that it's really
12 hard for independent user to go out there and see
13 energy storage over the lowest cost of ownership,
14 especially if we see with that initial first cut
15 *17:59:34.

16 COMMISSIONER HOCHSCHILD: I think I just
17 heard Alex volunteer to come speak at our August
18 23rd hearing. Thank you. We accept. But let me
19 just *17:59:41 to connect those two. At this
20 morning's testimony that we heard from E3, this
21 stuff may seem kind of minor and obscure, but it's
22 very significant in terms of making a clean energy
23 future more affordable.

24 If we get this stuff right it really will
25 save California ratepayers money, and you know,

1 avoid unnecessary expense, which is top priority.

2 So let's see this through and get done with it.

3 CHAIR WEISENMILLER: Yeah. I was just
4 going to ask Sandy, what's PG&E's -- since you have
5 so many old projects already under contract, what
6 are your incentives or disincentives in terms of
7 switching from dumb to smart inverters, if any?

8 MS. BURNS: I'd say it's not really our
9 incentive. It's really -- we're buying the power.
10 So we are contractually obligated to buy, you know,
11 the quantities that are promised to us. The
12 seller's responsible for maintaining the equipment.

13 We don't have any rights to tell the seller
14 to change out their equipment, unless they ask. So
15 in our contracts, if they want to -- we -- our
16 contracts are pretty specific about defining the
17 project and what equipment is at the site.

18 But that's really to insure that we got
19 what we expected in terms of a thin film solar or
20 something like that. So we don't have any rights to
21 suggest any changes to the facility unless the
22 seller asks.

23 Like if their inverter dies and they want
24 to replace it, then they need our consent, which you
25 know, not to be unreasonably withheld.

1 CHAIR WEISENMILLER: But you would not
2 withhold a consent if they did a like for like as
3 opposed to dumb to smart or how does that work?

4 MS. BURNS: We wouldn't withhold our
5 consent as long as the value proposition was equal
6 or better for us. Kind of our focus right now has
7 been we don't want them replacing equipment that
8 results in more output that we have to pay for,
9 that's above market. And you know, then we're just
10 going to be trying to sell more, right?

11 CHAIR WEISENMILLER: Right. Right.

12 COMMISSIONER HOCHSCHILD: Thanks.

13 MS. RAITT: Okay. So I think we'll take a
14 short break and come back at 2:10. But for our next
15 panelists, if you could come back five minutes
16 early, 2:05, that'd be great. So we'll reconvene at
17 2:10.

18 (Recess at 1:56 p.m., until 2:10 p.m.)

19
20 MS. RAITT: All right. Let's get started
21 again. So we're back and we're going to talk about
22 flexible loads and resources. And the first speaker
23 is Scott Blunk, from the Sacramento Municipal
24 Utility District.

25 MR. BLUNK: Hello. This is Scott Blunk
26 from SMUD. I work on energy efficiency and

1 electrification issues. I extend my appreciation
2 for having me here to speak.

3 Electrification, we find it incredibly
4 beneficial to SMUD. It's going to reduce our
5 customer's energy bills. Of course, there's going
6 to be carbon savings. It's going to accelerate our
7 fixed cost recovery at SMUD, which essentially is
8 saying that we're able to be rate neutral even at
9 our initial rebate offerings. It's going to create
10 local jobs. It's going to improve our regional air
11 quality and more opportunities to shape the load on
12 our grid.

13 This table, it's not too busy. It's kind
14 of all of our programs that we're offering right
15 now. I believe there's seven on there. The first
16 four are currently in operation, so that's New
17 Construction Single Family and Multifamily Program.
18 The Single Family is a \$5,000 incentive.

19 The single family existing program is the
20 HPP, so that is heat pump water heaters, space
21 heating and cooking. And there's a \$2,500 incentive
22 if you do all of those or if you need a panel
23 upgrade, which is going to be an impediment to
24 electrification.

1 And then there's a \$3,000 incentive just to
2 do a water heater conversion from gas to electric
3 and then the multifamily existing program that's
4 coming on line within about a month.

5 Then we'll have a midstream heat pump
6 program and a direct install program coming in the
7 first quarter of next year.

8 So what this slide is showing, this is from
9 our actual customers and what they're using right
10 now. The blue bar is the gas-heated homes and the
11 red is the -- or sorry, the blue is electrically-
12 heated homes and the red is the gas-heated homes.
13 And it's just showing peak demands throughout the
14 year. This has been standardized for a normal
15 weather year.

16 So it is showing that our peak would, under
17 this scenario for the existing homes anyway, our
18 peak would shift to the winter months. However a
19 lot of these homes that were built in the '70s,
20 these all electric homes have lower quality and
21 quantity of insulation and heat pumps. So we expect
22 with some proper load management and higher
23 efficiency equipment, our winter peak should not
24 exceed our summer peak.

1 And also kind of as part of our home
2 performance program for our existing buildings,
3 what's not listed on there is another \$3,000
4 incentive to improve the insulation and air sealing
5 of that. And that kind of rolls into kind of
6 helping manage that load, and the flexibility of it
7 that I'll get to it in just a moment.

8 This slide is really about kind of what
9 it's going to do to our customers and their bills in
10 energy consumption and CO2 levels. We expect a
11 slight amount of savings of a hundred and some
12 dollars a year on their energy bills, by going to
13 all electric. And this is for new construction, but
14 we've seen savings for kind of all vintages of
15 existing homes. But new construction costs are
16 marginal, \$127 added to go all electric right now.
17 And that includes a very small adder for the gas
18 infrastructure, because that was hard to determine.

19 So for heat pump water heaters, I'll get to
20 the flexibility part of it. The idea behind the
21 heat pump water heaters is that we will -- so in the
22 morning you get up, you take a shower, you're out of
23 the shower at 7:00. The water heater will not
24 recharge or will not heat the water again until kind
25 of midday when we get to peak renewable generation.

1 And then with a mixing valve, we can heat the water
2 beyond the desired temperature, normally around 125.
3 We can heat it above that so that during the peak
4 energy demand, the water heater will not turn on
5 again until we've reached past that peak. And we
6 think we can shift about a kilowatt hour per water
7 heater through that and just be able to float
8 through the peak.

9 So for HVAC, it's highly dependent on the
10 level of insulation and air sealing in the building.
11 Windows are also another major factor. Air sealing
12 is a big deal, because it affects not only the heat
13 loss through the air that's already been
14 conditioned, but air movement through insulation
15 degrades it greatly. So improving the envelope is
16 really important in being able to use space heating
17 to pre-cool or pre-heat a home.

18 And I talked about some of this. The
19 envelope -- yeah I think I've talked about most of
20 that. So the batteries, with the all-electric home
21 the other advantage is you have more loads on the
22 batteries as they get installed, to where right now
23 through our shoulder seasons there may not be enough
24 demand to actually use all of that battery in the
25 shoulder seasons. So if you have additional

1 electric loads on the house, like water heating and
2 cooking, that will be able to recharge or take
3 advantage of more of the on-peak high generation PV
4 during the middle of the day. And so we'll get
5 better utilization out of the batteries. That's it.

6 COMMISSIONER HOCHSCHILD: I just wanted to
7 thank you again for joining the tour at the LIBOK
8 (phonetic) Project, the low income.

9 MR. BLUNK: Oh yeah, you're welcome.

10 COMMISSIONER HOCHSCHILD: And just to
11 compliment you and SMUD for doing what you're doing.
12 I think it's absolutely path breaking, this new
13 incentive program. In fact, I think my Chief of
14 Staff is going to be one of your first customers.
15 But do keep us posted as that proceeds. I think
16 you're out ahead of the rest of the state in terms
17 of the incentives you're offering. And I'd be very
18 interested to get feedback on some of the lessons
19 learned.

20 I myself swapped out my natural gas water
21 heater for a heat pump about six weeks ago. It's
22 working great, but I do think it's not something
23 that occurs to people as a priority to do. And then
24 a lot of people are not even aware that the

1 technology is there now. So your incentive program
2 is really well timed and I think well crafted.

3 MR. BLUNK: Well, thank you. And part of
4 the reason for the high initial incentives was to
5 catch people's attention and kind of try to make
6 this a no-brainer. And after the first two weeks,
7 we've had I think four whole homes converted and
8 fifteen space heating conversions and a dozen water
9 heating conversions after the first couple of weeks.
10 So far looking good, hopefully all those conversions
11 aren't sitting in this room right now. (Laughter.)

12 COMMISSIONER HOCHSCHILD: Yeah, it wouldn't
13 surprise me. Thank you.

14 MS. RAITT: Okay, great.

15 Next is Sabrina Butler from San Diego Gas
16 and Electric.

17 MS. BUTLER: Hi. I'm Sabrina Butler from
18 San Diego Gas and Electric. Thanks for having me.
19 I'm going to just spend some time talking about our
20 early results from our default TOU transition with
21 our pilot program.

22 So right now most of our residential
23 customers are on a tiered rate plan, a pricing plan
24 where they're charged by the amount of energy they
25 use. And following with our rate reform program and

1 the 2019 plan by the end of next year, almost
2 750,000-ish customers will have been transitioned to
3 a time-of-use pricing plan.

4 These plans give customers what we think is
5 more choices and control, because it allows them to
6 shift their energy use to off-peak periods and lower
7 their energy bill and their energy usage.

8 So our first -- we're going to offer two
9 TOU plans. One is a 3-peak period and one has a 2-
10 peak period. Our default plan will be the 3-period
11 pricing. We want to give customers all of the
12 options that they have. In terms of where they
13 can't win, they can use their energy. If they want
14 to opt out they can and they can opt out to another
15 TOU plan or they can stay on their current tiered
16 plan.

17 As part of our default pilot rollout, which
18 we have just finished the rollout we've transitioned
19 the customers in March. We had a really robust
20 communication plan where we started with a 60-day
21 notification, a 30-day notification. And those were
22 personalized plan comparisons. So we took the
23 customer's energy usage for the last 12 months and
24 compared it to each of these pricing plans, so the
25 customer could really make an informed decision.

1 About 5 percent of the customers opted in
2 early and then we transitioned the rest of them in
3 March. About 15 percent of the customers did opt
4 out and I'll get into some of that in the next
5 slide.

6 Two of the things that are keeping
7 customers on what we found is we have a risk-free
8 opportunity. So for the first 12 months, they have
9 no risk pricing. So if a customer would be better
10 on a tiered rate, we'll move them back and then
11 we'll credit them the difference, so that it's
12 really risk free. Try it out, see if you can shift
13 your energy usage and ultimately save. You're also
14 not locked into these plans for 12 months. So any
15 point in time in the first 12 months you can say, "I
16 want out of this. It's not working for me." And so
17 you can.

18 The other thing though was really working
19 is that customers now really do have two ways to
20 save. Before, it's just reduce your energy or do
21 energy efficiency activities. On TOU you can do
22 those things, but you can also shift to an off-peak
23 period or just instead of turning your dishwasher on
24 at 7:00 o'clock after dinner, turn it on at 10:00
25 p.m. and you will save money.

1 So I think those are things that customers
2 don't really realize can add up in savings over
3 time. Do your laundry on Saturday morning during
4 the super off-peak period. On the weekends it's
5 until 2:00 p.m. So these are ways that customers can
6 shift their behavior and save money.

7 So we transitioned about 114,000 customers
8 in March on to one of our two TOU plans. And so
9 far, we're seeing a slight reduction in on-peak
10 period usage from this time last year, just very
11 early preliminary results. We have 15 percent of
12 the customers originally opted out, but we're
13 staying with seeing that 85 percent retention, which
14 is really good. I'll come back and give you more
15 information after summer, because we do want to see
16 how customers really behave during the summer time.
17 Obviously those might be sort of different than with
18 winter.

19 A couple of things we found out about how
20 customers though were interacting. One point here
21 is the business reply card. You'd think in this
22 time where people want to get online and self-serve
23 they really use this, fill out the form and send it
24 in, which is very interesting to us. Most of the

1 customers did that. A few calls to our contact
2 center and then obviously the self-serve.

3 The other thing that we did that we're
4 testing is what we call the Extreme Non-Benefiter
5 Campaign. And I use the word of "extreme non-
6 benefiter," but just so we have that in context it's
7 an extreme non-benefiter is one who has a \$10 or 10
8 percent increase annually: \$10 a month or 10 percent
9 increase annually.

10 So what we did with those customers is we
11 actually reached out and did a call-in campaign with
12 them. Wanted to talk them through what this meant
13 to them and their options. And 11 percent of those
14 customers actually said, "Let me give it a try."

15 Now that 12 month no-risk pricing was very
16 beneficial to them, but they said, "Maybe I can do
17 some things that would actually allow me to
18 benefit."

19 Now most likely those customers won't be
20 better off, but their behavior changes, what they
21 learn would be very beneficial. But that also gave
22 them just more information and made them feel better
23 about the company, time of use and their choices.

24 And the things that we're working on in
25 terms of our customer engagement and education, as

1 you can see the reasons for opting out, it was just
2 their concern that TOU will increase their bill.
3 People who actually benefit based on their last risk
4 comparison, said that. So it's saying that
5 customers aren't fully aware, some of them.
6 Obviously some may not be. So that is why we're
7 trying to work on our communication and outreach, so
8 that we can really get to the customers, so again so
9 they can make informed decisions.

10 And that is all. I mean the last slide is
11 just our rollout plan, sorry. We start in March and
12 the other two IOUs in 2020.

13 CHAIRMAN WEISENMILLER: Well, thank you.

14 I know last year the presentation from the
15 PUC staff about the time of use, obviously President
16 Picker was very enthusiastic in part based upon his
17 experience in the SMUD Board and in terms of
18 incenting folks.

19 So at the same time I think PG&E and Edison
20 both have problems with their billing systems and
21 have had to slow down the rollout.

22 But again I think for a lot of to encourage
23 more flexible load, this is like a basic step. You
24 really can't get there without time-of-use rates in
25 that mainstream billing system that will accommodate

1 them. And you also need, as you talked, so many
2 very sophisticated campaigns to not just to flip the
3 switch and have everyone go crazy.

4 MS. BUTLER: It is and our billing system
5 goes in right after we go live with our TOU price
6 plan. It's very exciting.

7 MS. RAITT: Okay. Thank you. So next is
8 Anna Chung from Southern California Edison. And
9 she'll be speaking via WebEx.

10 MS. CHUNG: Okay. Thank you, is there an
11 echo?

12 MS. RAITT: You sound okay from our end.

13 MS. CHUNG: Oh, great. Okay.

14 So good afternoon everyone, I'm a Senior
15 Advisor at Southern California Edison and today I'm
16 presenting SCE's Demand Response Auction Mechanism.
17

18 CHAIRMAN WEISENMILLER: Hang on a second.
19 We're now having some AV issues.

20 MS. RAITT: Now, we're having some trouble
21 hearing you.

22 COMMISSIONER HOCHSCHILD: I wonder if she's
23 -- are you on another phone line with the same --

24 (Colloquy re: audio issues.)

25 MS. CHUNG: How is that? Is that better?

1 CHAIRMAN WEISENMILLER: You want her to do
2 some tests? Say something.

3 MS. CHUNG: Okay. Thank you. Okay, I'm
4 eating into my seven minutes here. Let me try this
5 again.

6 I'm going to be presenting the Demand
7 Response Auction Mechanism and the procurement of
8 flexible resources for addressing the --

9 MS. RAITT: Anna, I'm sorry, I'm going to
10 interrupt you. Are you using a speaker phone?

11 MS. CHUNG: Yes, I am.

12 MS. RAITT: Well, maybe we can move on to the
13 next speaker. Would you be able to figure out a way to
14 not use a speaker phone?

15 MS. CHUNG: I can call in on my cell.

16 MS. RAITT: Okay. So we're going to try that
17 and we'll move on to the next speaker and we'll come back
18 to you, okay?

19 MS. CHUNG: Okay. Sorry about that.

20 MS. RAITT: Thank you.

21 So we'll go on to Gabriel Taylor, from the
22 Energy Commission.

23 MR. TAYLOR: Good afternoon my name is Gabriel
24 Taylor. I am an Engineer in the Building Standards
25 Development Office here at the Energy Commission. I'm

1 also the Project Manager for the Demand Response Section
2 of the Building Codes Update, Energy Code Update.

3 Today, I'd like to give you a quick summary of
4 the actual demand response requirements that are
5 currently in the Title 24 Code. And then I will go into
6 a little bit of detail on the cost effectiveness metrics
7 for new requirements in the Building Energy Code.

8 We're talking about the California Code of
9 Regulations Title 24. That's the Building Standards.
10 Part 6 is the Energy Code. That's the portion of the
11 Building Standards that the Energy Commission is
12 responsible for adopting. This is on a three-year cycle,
13 so every three years we adopt new updates to this Code.
14 So it's an iterative process and I'm always encouraging
15 stakeholders to come talk to me, so we can refine the
16 Code that's there.

17 We just finished an adoption cycle. So we just
18 adopted a new Code and the summary that I'm giving you
19 today is based on that new Code that will go into effect
20 on January 1st, 2020. We've already started talking to
21 stakeholders and started thinking about the next Code
22 cycle, so this is the 2022 code cycle. And that's
23 predominantly what I'll focus on in the cost
24 effectiveness section.

25 So it turns out that there are actually fairly

1 few sections of the Code that reference demand response.
2 There are approximately four sections of the
3 Nonresidential Code that require certain types of demand
4 response. There are two sections of the residential code
5 that allow certain kinds of demand response. There are no
6 requirements for demand response in the Residential Code.

7 There's also some minor exceptions for solar-
8 ready rooftop space, but because of the new requirements
9 for solar PV on the rooftops that's much less
10 significant. So I'm not going to cover those today, but
11 if you have certain types of demand response and energy
12 efficiency in combination you need less solar-ready space
13 on rooftops.

14 I want to emphasize that nonresidential term,
15 as defined in our code, includes high-rise residential.
16 So the term "nonresidential" means basically everything
17 except for the single family low-rise residential kind of
18 house that you're kind of familiar with.

19 First thermostats in nonresidential structures,
20 if you have a single zone air conditioner or heat pump
21 then you are required to have the demand responsive
22 thermostat. If that single zone thermostat also has
23 direct digital controls, then you're required to have
24 additional demand shed requirements. And any time that
25 you retrofit or alter a HVAC system you're generally

1 required to install a demand response thermostat, if that
2 thermostat's not already there. This is mandatory. This
3 is required.

4 In the lighting section this is the lighting
5 controls, not the lights themselves, but the controls
6 need to be demand responsive in buildings that are larger
7 than 10,000 square feet and in sections of those
8 buildings where you have more than 0.5 watts per square
9 foot.

10 I've had a lot of discussions with the lighting
11 industry about this. And it's important to emphasize
12 again that this is the controls themselves not every
13 single individual light bulb, but just the controls. And
14 this is mandatory.

15 Electronic message centers. These are the
16 large powered billboards. If they're more than 15
17 kilowatts, it's a pretty significant size, they're
18 required to have -- it's a specific curtailment
19 requirement. It's not required necessarily to have the
20 normal demand responsive communicative functionality, but
21 it's required to be capable of a 30 percent reduction if
22 it received a signal. And this is required.

23 And finally, there's a general requirement in
24 the new Code that points to open automated demand
25 response communications protocol. So if you're

1 installing a demand responsive control in the structure
2 and you're doing so for the compliance with the Code or
3 for credit under the Code, then it's required to comply
4 with the sections that specify both the hardware and
5 software layer of communications. It's a minimum level
6 of function, a minimum level of communication. It's to
7 ensure that the building owner or operator has that
8 functionality available and that is required.

9 Moving on to the residential section, if you're
10 installing a heat pump water heater, an electric heat
11 pump water heater, and this an alteration, not in a new
12 building, but an alteration then there are two optional
13 pathways that allow for demand responsive functionality.
14 These are not required. These are options. There are a
15 number of other options here that you can go through if
16 you're doing this type of work.

17 The two options are either the normal pathway
18 for open ADR minimum level functionality or a NEEA Tier 3
19 pathway, which provides some other optional including
20 CTA-2045, which is a popular communications protocol for
21 water heaters.

22 And finally, this is a very rare, alterations
23 of HVAC equipment. And if you have a demand responsive
24 thermostat there is some optional allowance for how you
25 test that HVAC alteration. It's a very rare case and I'm

1 not aware of any cases where this has been used recently.
2 But it is in the code for fringe cases where it's
3 necessary. And it's optional. You can always test using
4 the normal protocols.

5 So that's it. That's all that currently
6 required under the Building Code, residential and
7 nonresidential.

8 Now most of this is focused on emergency shed.
9 This is obviously not as useful for renewable
10 integration. This is a vestige of the energy crisis
11 going back more than 15 to 20 years and looking at the
12 type of demand side management that was determined to be
13 cost effective and generally this was an emergency shed
14 or a curtailment type of program.

15 Going forward, when we're looking at demand
16 response requirements in the code and this applies to
17 both the Building Code, the Appliance Code and the Load
18 Management Standards, which the Energy Commission also
19 has authority to enact we have to ensure that these
20 standards are cost effective for consumers.

21 An example, and this is something I'm very
22 excited about, we've already started talking to a lot of
23 stakeholders on the equipment and manufacture side is the
24 TOU rates that are rolling out and the utilities have
25 pointed out here. The TOU rates, which the Energy

1 Commission has been supporting as a policy for well over
2 a decade now and we're finally going to see them coming
3 into the consumers' households. I'm personally already
4 on the TOU rate and I have experimentally moved loads
5 around and I have an electric vehicle and what not. And
6 I found it to be very, very easy and virtually no
7 significant impact on my personal quality of service to
8 move those loads around.

9 I wanted to bring a whole bunch of pictures of
10 my load rates, but that's probably not pertinent here.
11 But I think it's important to emphasize that the TOU
12 rates provide a cost effective metric that we can use to
13 justify new demand response requirements in the Building
14 Code.

15 And if the policy support is there, that's
16 something I'm very much looking forward to discussing
17 with the manufacturers and all the interested
18 stakeholders.

19 CHAIRMAN WEISENMILLER: Great. I'll just ask
20 the usual follow up questions in terms of so what do we
21 need to do in terms of any additional training material
22 or stuff for the standards we just adopted as opposed to
23 the next standards?

24 MR. TAYLOR: The Energy Commission staff is
25 currently working on the compliance manuals. We hope to

1 have those out in a few -- the Project Manager is not
2 here -- but in a few weeks, I believe is the goal for the
3 for the draft documents to be put out for public review.
4 Those will include a number of -- the guidance for how to
5 comply with the standards and those will go out to the
6 stakeholders for review. And then we'll adopt those
7 later.

8 I'd have to defer the actual schedule to the
9 Project Manager for that timeline.

10 CHAIRMAN WEISENMILLER: That's fine. I just
11 want to always really make sure people follow through on
12 what we've committed to do to get ready to put in
13 standards rollout, as opposed to getting too caught up in
14 what we could do in the next round.

15 MR. TAYLOR: Absolutely, there's been a
16 significant amount of urgency getting all those parts put
17 in place.

18 CHAIRMAN WEISENMILLER: Great. Okay.

19 Ms. Raitt?

20 MS. RAITT: Okay. Great, so we'll move on to
21 Arthur Haubenstein from the California Efficiency and
22 Demand Management Council.

23 MR. HAUBENSTOCK: I'm Arthur Haubenstein. I am
24 the new Executive Director for the California Efficiency
25 and Demand Management Council. Thank you very much.

1 So we have over 80 members across a broad range
2 of energy efficiency and management issues. Our mission
3 is to support energy efficiency and demand management
4 policies and programs for all Californians to create
5 sustainable jobs, long-term economic vitality, able and
6 reasonably priced energy systems and environmental
7 improvement.

8 Energy efficiency has been an extraordinary
9 success story for California. While we've had fairly
10 modest growth in energy demand notwithstanding our
11 financial stimulation and economic growth if you look at
12 the rest of the country, which hasn't unfortunately
13 enjoyed our economic growth -- well, there we go -- that
14 hasn't enjoyed our economic growth we have done even
15 better. The rest of the country has even over the last
16 10, 20 years had substantial energy growth.

17 At the same time, energy efficiency is
18 considered to be one of the most important building
19 blocks in achieving climate reductions and other emission
20 and environmental improvements. This is a graph that I
21 borrowed from NRDC that was looking nationally, but as
22 you can see the first building block, the most important
23 and largest building block is energy efficiency. And the
24 next largest building block is a smarter grid that
25 includes demand response.

1 These are critical foundational elements for
2 California and the rest of the nation to achieve our
3 environmental objectives for our energy system.

4 The question often comes up, what is it that
5 energy efficiency and demand response can provide to a
6 flexible grid? And I do think the better question is
7 what is it that it can't provide? And there is the
8 opportunity to provide energy capacity ancillary
9 services, even transmission and distribution system
10 solutions. It ranges according to the technology and the
11 application that we're talking about. But even
12 traditional energy efficiency can reduce the need for
13 transmission upgrades and distribution upgrades,
14 particularly if it's focused.

15 Traditionally, it has not been. Our
16 traditional energy efficiency programs have not had that
17 kind of program, that kind of focus. The same is true
18 for demand response. But we're seeing a tremendous
19 influx of new entrants into both energy efficiency and
20 demand response that are creating tremendous
21 capabilities. What we're missing is the economic signals
22 and the regulatory structure of the programs that enable
23 energy efficiency and demand response to optimize our
24 system. That's where the Council is focusing its
25 efforts.

1 One concern that we have had, and I thought it
2 was topical given the nature of this panel, is something
3 that is sometimes omitted when we talk about flexibility
4 for a renewables driven energy grid. We are very much
5 supportive of and in favor of the direction that we are
6 heading in California with the renewables driven grid.

7 We're sometimes told that, by some thought
8 leaders, that we should not be trying to save energy. We
9 should be using more energy, because using more energy
10 reduces the risk of curtailment of renewables. We think
11 that that's a false equation.

12 And I want to be very clear. I'm using the
13 ISO's "Duck Curve" graph here. And the ISO has been
14 very, very clear about what the duck curve is and what it
15 isn't. It is a very serious concern. It's something
16 that we need to take very seriously and we have the tools
17 across all the various different technologies and
18 approaches that have been discussed today, to approach
19 it.

20 But we also have to consider what sometimes
21 gets lost when we talk about the duck curve. If you look
22 at the duck curve in its entirety here, then you focus
23 in. And notice that the on the Y axis there's a pretty
24 big gap between zero and 10,000 megawatts. And what that
25 is, is the sea that the duck is floating on. So the duck

1 is floating on a sea of inflexible resources that are
2 considered to be non-dispatchable, either because of
3 their baseload or because of contractual requirements.

4 Rather than trying to reduce energy efficiency
5 and increase energy consumption what we should be doing
6 is looking at the whole stack of both supply and demand
7 resources and figuring out what is going to move the ball
8 further in achieving California's energy load. There's a
9 lot that we can do to make the entire system more
10 flexible.

11 Energy efficiency and demand response can
12 provide much of that. And I was very interested in E3's
13 presentation earlier that talked about how much we can
14 expect through electrification of our economy to increase
15 electric loads and how important it is for that electric
16 load to be flexible to meet California's energy needs.

17 With that I will say thank you. And look
18 forward to your questions.

19 CHAIRMAN WEISENMILLER: Okay. I mean, last
20 year we had an LDL study reported where there was
21 thousands and thousands of megawatts of demand response.
22 If you look at the chart that's in the Green Book since
23 San Onofre went out and we did a big push to enhance
24 demand response the numbers have gone down, you know the
25 bottom line. So how do we turn that around? I think in

1 the last IEPR we were characterizing the existing demand
2 response programs as a failure, which is probably a
3 polite term.

4 But anyway, how do we go from basically
5 declining demand response to that being a bigger part of
6 our resource mix?

7 MR. HAUBENSTOCK: That is an excellent
8 question. And I think unfortunately some of the dynamics
9 that are focused on in the Green Book auger in the
10 opposite direction. Complexity is not the friend of
11 demand response. We do think that as we move forward
12 with technology it's going to get quite a bit easier.

13 We're relying on human beings to change their
14 behavior by conscious decisions. It is a very, very slow
15 response. As we heard from the ISO when they need to
16 respond in milliseconds or four seconds or whatever it
17 may be the opportunity to aggregate across a fairly wide
18 variety of users, and to make changes that are so rapid
19 that human beings could not approach that kind of
20 decisions making.

21 And also that human beings are not ever going
22 to experience those. I was very glad to hear that your
23 personal experience was that your use of demand response
24 programs didn't affect your comfort and safety and well-
25 being and economic activities. I think we will find that

1 across California. But we need to make it easier. We
2 need to make it simpler. We need to make sure that as we
3 have seen changes between load serving entities that
4 these programs are portable. And that people can depend
5 on the investment that they make. That they will pay
6 back over time.

7 COMMISSIONER HOCHSCHILD: So I just want to
8 double that, because I mean I agree with the Chair. I
9 mean we're failing on this issue. And I just wonder if
10 you have any thoughts about how the state energy agencies
11 are organized around this? I mean, do we need to have a
12 California demand response czar, for example, to organize
13 and push on this? Because the stakes are very high, not
14 just for grid reliability, but also for ratepayer impacts
15 here and I'm just pretty underwhelmed at our headway that
16 we're making on this.

17 And I'm just curious of your thoughts on in
18 terms of the regulatory architecture around us that we
19 have today at PUC, CEC, ISO, Governor's Office. Do you
20 have any thoughts on how we could be better organized?

21 MR. HAUBENSTOCK: You're absolutely right that
22 we have far to go. And honestly one of the things that
23 attracted me to come to the Council was the tremendous
24 potential on the work that we need to do in order to
25 achieve it. I do think that there are other

1 jurisdictions that are making better progress than we
2 are. I do think that we need statewide consistent rules
3 and interfaces that will allow very simple interaction
4 with demand response, so that that aggregate value could
5 become a reality.

6 Whether we need a statewide czar, I don't know.
7 It's a good thought. But I do think that the Energy
8 Commission is in a very good position to be identifying
9 that value that we can achieve to help us identify the
10 regulatory barriers, the market barriers that are keeping
11 us from achieving that value and to figure it out.

12 I mean there is a little bit of a problem in
13 the diffuse nature of the value. I think the fortunate
14 thing is that the technology is making it easier to
15 attract all those little pieces that add up to something
16 that is valuable, not just economically, but also in
17 terms of grid operations and in terms of our environment.

18 So we need to be thinking about how we can
19 create that regulatory structure that opens the door for
20 technology. We know that there are lots of technology
21 adopters who are excited about this. A lot of them have
22 failed, because they were not able to get the market
23 opportunity they needed. They weren't able to see the
24 value that they know or can realize the value that they
25 know is out there.

1 CHAIRMAN WEISENMILLER: Well, we're going to be
2 calling for written comments and so when you do yours, if
3 you do want to suggest this can be the Demand Response
4 Action Plan, we're going to see it.

5 MR. HAUBENSTOCK: Thank you for the
6 opportunity. I look forward to it.

7 COMMISSIONER HOCHSCHILD: And I don't know if
8 we were able to get the woman from Edison back on now,
9 but I'd welcome her thoughts on this question as well
10 when she gets back.

11 MS. RAITT: Okay. Are we ready to go and give
12 it a try?

13 MS. CHUNG: Okay.

14 MS. RAITT: Go ahead, Anna.

15 MS. CHUNG: Can you hear me?

16 COMMISSIONER HOCHSCHILD: Yeah, much better.

17 MS. CHUNG: Oh good. Thank you. All right, I
18 guess I don't need to introduce myself still. So the
19 next slide, please?

20 The DRAM pilot, or the SCE Demand Response
21 Auction Mechanism, starts the process on this vision of a
22 long-term solution for the procurement of third-party
23 demand response.

24 The pilot allows demand response to come head-
25 to-head against conventional resources and encourages new

1 market participants in DR through annual qualification.

2 The DRAM provides capacity permits for
3 aggregators to participate directly in the CAISO market.
4 Without DRAM an aggregator could only earn energy
5 payments in the CAISO market. It provides a capacity
6 payment that actually does provide a more level playing
7 field with the IOU DR program.

8 The DRAM uses a standard agreement for research
9 adequacy without bilateral negotiations. The IOUs are
10 have purchasing capacity in claiming RA credit, also
11 known as RA Tag.

12 Third parties own the relationship with the
13 customers and the CAISO, but unlike prior IOU aggregator
14 managed contracts, they actually have a relationship with
15 the CAISO, while previous aggregator managed contracts
16 the relationship was only with the IOUs. The next slide?

17 Okay. This diagram is an illustration of the
18 relationship between the CAISO, the IOUs and the
19 aggregators, otherwise known as demand response
20 providers. It's important to note that IOUs have no
21 dispatch rights, nor do they have visibility to dispatch
22 information. They're not privy to any DRAM participants
23 with pricing, quantity and advanced performance. Next
24 slide.

25 For DRAM the three products that are available

1 are System Capacity, and that is IOU-wide and can bid
2 into the market as reliability demand response resource
3 or proxy demand response. Providers must bid per the
4 CAISO must-offer obligation for day ahead and real-time
5 markets.

6 RDRR is emergency dispatch and PDR is economic
7 based.

8 To qualify as a capacity at local capacity the
9 resource must be located in SCE's LA Basin or Big Creek/
10 Ventura substation areas.

11 Local resources must be able to respond to a
12 dispatch instruction in less than 20 minutes. Flexible
13 capacity must be a PDR resource and to qualify for flex
14 RA the resource must be able to ramp and sustain energy
15 output for a minimum of three hours and must bid per the
16 CAISO's must-offer obligation for flexible RA. Next
17 slide.

18 So how is the DRAM conducted? Well, the DRAM
19 is a reverse auction. So in other words, bids are ranked
20 by the market value. And the lowest price capacity is
21 procured first until the authorized budget cap is
22 reached. The IOUs must procure a minimum of 20 percent
23 residential megawatts.

24 These are one-year RA contracts with the
25 exception of draft rates for 2018 and 2019. Offers must

1 bid capacity prices by month and megawatt and must
2 include an August bid. Next slide.

3 This chart displays the grant procurement
4 results by IOU and delivery year for the four DRAM
5 pilots. In 2017, the IOUs were ordered to procure an
6 additional RA for 2019. In addition to the megawatts that
7 have already been previously been contracted in DRAM 3.

8 As you can look at this chart, you'll see that
9 SCE and PG&E's authorized budgets and DRAM results are
10 very similar. All these megawatts reflect the August
11 capacity.

12 A flux capacity product is not offered in the
13 first year of DRAM. DRAM 1 provided a system RA only and
14 delivery for seven months, June through December 2016,
15 due to the late launching of the pilot.

16 In DRAM 4 the IOUs calculated flexible, local
17 and system offers separately. Flex was deemed to have
18 greater value through local. And local capacity was
19 deemed to have greater value than system RA.

20 DRAM 4 contracts are currently pending approval
21 by the CPUC. And if approved SCE will have approximately
22 177 megawatts for 2019.

23 DRAM is technology blind and DR capabilities
24 can be manual or technology enabled, such as smart
25 thermostats or energy storage. We just don't know, and

1 it could be a combination of any of the above. We have
2 approximately 26,000 customers registered with the DR
3 providers in the CAISO system. Next slide.

4 So flexible RA is still very new and is
5 reflected in the procurement results. DRAM 2 and 3 have
6 very similar results of less than half a megawatt of
7 August capacity. DRAM 4 however shows a big increase in
8 flex RA, most of it coming from Leapfrog Power, an EPR
9 provider, accounting for 20 of the total 20.7 megawatts.
10 Next slide.

11 So was the DRAM Pilot successful? In 2016, the
12 Commission directed the Energy Division to conduct an
13 independent analysis of the results of the pilot auctions
14 and subsequent deliveries against six criteria. The
15 criteria for assessing the success of DRAM pilots
16 included: 1) that the DRAM engage new viable third-party
17 providers. 2) That they engage new customers. 3) Were
18 auction bid prices competitive? 4) Were offer prices
19 competitive in the wholesale markets? 5) Did demand
20 response providers aggregate their contracted capacity in
21 a timely manner? And 6) Were resources reliable when
22 they were dispatched?

23 So the ED focused primarily on results from
24 DRAM 1 and 2 for contract deliveries in 2016 and 2017 and
25 included some data from the DRAM's re-procurement

1 conducted in 2017 for deliveries in 2018 and '19.

2 In a recent status conference and the ED's DRAM
3 Evaluation Update Memo dated just last week the ED's
4 assessment of criteria one, two, three and five is nearly
5 complete. But due to limited bandwidth and resources,
6 and significant challenges were encountered in evaluating
7 the CAISO-related criteria, which is four and six,
8 including data quality issues and internal
9 inconsistencies leading to inconclusive results.

10 So the ED is pursuing discussions with an
11 outside consultant to continue the assessment effort,
12 primarily focused on the CAISO-related criteria, four and
13 six.

14 The next step will be a workshop in late July
15 or early August to report out the results of the non-
16 CAISO related criteria. And update the Commission and
17 the stakeholders on the schedule for completing criterias
18 four and six.

19 And that concludes the presentation on DRAM.

20 CHAIRMAN WEISENMILLER: Thank you. Do you have
21 a sense if we were trying to go up an order of magnitude
22 of something? This is Bob Weisenmiller again. We've
23 been pushing in the Aliso context for demand response.
24 This looks like it's about 20 megawatts and the question
25 is if we were trying to increase the scale, so in order

1 of magnitude or so do you have a sense of how quickly you
2 could do that?

3 MS. CHUNG: Do you mean specifically for Aliso
4 Canyon?

5 CHAIRMAN WEISENMILLER: Well just generally,
6 but certainly in the Aliso context or back in the SONGS
7 context we were trying to scale up pretty quickly.

8 MS. CHUNG: Right. So if this evaluation were
9 completed June 1st we would hope to have a final
10 resolution or a draft resolution, I'm sorry, about future
11 procurements for 2020.

12 And on that cap on the megawatts was to be 1
13 gigawatt, a gigawatt statewide. So that must be quite a
14 bit of scaling up, but at this time the Commission wants
15 to make sure that these loads are actually there when
16 called upon. So the DRAM is being delayed for possibly
17 half a year until we get the results back from how is the
18 performance occurred.

19 I'm sorry. I'm getting still an echo.

20 CHAIRMAN WEISENMILLER: No, it's good. It's
21 certainly much better than it was. Thank you.

22 MS. CHUNG: Okay.

23 CHAIRMAN WEISENMILLER: There was also a note
24 that actually SoCal Gas who had also been pushing for gas
25 demand response, so that's certainly something that I

1 think only one other utility in the country has tried.
2 And so the first season, the first winter for Aliso
3 Canyon, I think it was like December they got approval
4 from the PUC, so not much happened.

5 This year it had more time, but again not a lot
6 has happened and they just filed the advice letter for
7 the next one. It's Arthur and his folks were going to
8 take a stab at it.

9 MS. CHUNG: Right. But I'm familiar with for
10 Aliso Canyon, is actually in front of the meter which is
11 not demand response. But the solicitation, I believe is
12 going out next month.

13 CHAIRMAN WEISENMILLER: Great. Thank you.

14 MS. RAITT: Okay.

15 So I think that what's his name, did he ever --

16 CHAIRMAN WEISENMILLER: Wait, I think Arthur
17 wants to make a comment.

18 MS. RAITT: I'm sorry, go ahead.

19 MR. HAUBENSTOCK: Just one quick note on the
20 DRAM. The industry is really very concerned about this
21 delay. We have been gearing up quite a bit to
22 participate in the DRAM. And many companies have been
23 attracted to California as a result. It's not clear
24 exactly what the problem is. And it's important that
25 there's clear communications for the industry, so that we

1 don't lose the momentum that we started to build in
2 trying to have demand response industry really
3 participate in the ISO markets.

4 MS. CHUNG: So it's going to be really very
5 interesting what will be coming in late July workshop.

6 CHAIRMAN WEISENMILLER: Yeah. I think again
7 life's setting priorities and certainly it would be good
8 to get this moved up on the priority list. And certainly
9 some of the questions, which we've answered like for the
10 new providers or new customers aren't that hard.
11 Certainly the reliability is the important question, as
12 is the price.

13 MS. CHUNG: I do agree with that.

14 CHAIRMAN WEISENMILLER: Great. But again
15 certainly if you have comments on how we can step up the
16 demand response program, or if Edison or PG&E, we
17 certainly would like to see this in the written comments
18 obviously or San Diego, obviously.

19 MS. RAITT: Okay. So we'll move on. So thank
20 you to our speakers and I'll say to go ahead and take
21 seats in the audience, and ask our next panel to come up
22 to the front tables. And we'll have places for you
23 there. So we'll just take a moment to transition here.

24 (Pause to set up the next panel.)

25 MS. RAITT: Okay. So we'll be talking about

1 flexible resources and the first speaker is Grant
2 McDaniel from Wellhead Power Solutions.

3 MR. MCDANIEL: Good afternoon it's a pleasure
4 to be here. I want to take the opportunity to talk about
5 the hybrid technology that Wellhead developed with
6 General Electric and have installed into two Southern
7 California Edison plants last year.

8 So our goal of hybridization is really to
9 maximize the flexibility of the existing gas fired
10 generation that we have. And the benefits of doing that,
11 and what we accomplished were number one to eliminate the
12 Pmin. We do have a true zero Pmin unit and this allowed
13 us to have full use of the entire operating range between
14 the Pmin and the Pmax without any operating constraints.

15 We have also eliminated any kind of minimum run
16 time. For example, you can run for five seconds or you
17 can run for five hours. We've eliminated the minimum
18 down time, so that if you come back down to zero and you
19 change your mind two minutes later or two hours later,
20 you can come right back up. There are absolutely no
21 limitations. So it's truly very, very flexible
22 generation.

23 It has automated energy management, both of the
24 state of charge of the battery. It doesn't put a burden
25 on the grid, as well as the starting and the stopping of

1 the CT behind it.

2 It can provide high-speed accurate regulation.

3 But primarily it's going to be providing GHG-free

4 spinning reserves. And this does count toward that

5 headroom that Neil was talking about meeting earlier.

6 And it also goes towards freeing up or gaining

7 flexibility out of the existing assets that are running

8 right now and having to be reserved. And we'll kind of

9 take a look at that in a minute.

10 It can provide the automated responses for

11 primary frequency response and voltage support, with or

12 without fuel. Again, the technology's now been deployed

13 at two sites: Center and Grapeland sites in Southern

14 California. And as we'll see in some of the numbers here

15 at the very end, exactly what the use case is now is that

16 they are providing spinning reserves and voltage support

17 without gas.

18 And when they are needed, they provide

19 regulation, rather than just peak energy.

20 So overall, our design in terms of the control

21 itself is that the unit can take either the CAISO

22 dispatch in or it can take a local dispatch from Southern

23 California Edison in this case, or it can be automatic

24 depending on if it sees a problem on the grid in terms of

25 voltage or frequency, it's just going to respond on its

1 own. And when it responds on its own it will not use the
2 gas unless the gas is absolutely necessary to use.

3 The hardware control system that was developed
4 is a true high performance blended output. The battery
5 and the gas turbine will both contribute as necessary to
6 give you one very precise output to the grid.

7 This is just an example of a nominal instructed
8 energy ramp on the gas turbine, or on the EGT, which by
9 the way stands for electric gas turbine hybrid. This
10 would be, just as you can see starting at zero. If you
11 instructed it to go to 50 megawatts it would ramp up to
12 50 megawatts. The ramp down would look similar. You can
13 see underlying the blue line that you have both the
14 battery and the gas turbine are contributing to this ramp
15 up through the range.

16 This is a variable ramping machine though. So
17 this entire ramp can actually be moved from a ten-minute
18 ramp to a five-minute ramp if that's so desired. And of
19 course the primary frequency response would be quicker.

20 So how does this benefit us in the market?
21 Again, the current dispatch we do have to hold back on
22 megawatts that are currently producing energy. The CCGTs
23 right now, 34 percent of the time we're on spinning
24 reserve in 2017. If you were to hold back 34 percent on
25 a 500 megawatt plant just by simple, simple example here

1 it'd be 170 megawatts that's being reserved for
2 contingencies, cannot be used for flexi-ramp, cannot be
3 used towards ramping. It's reserved. And the CTs,
4 simple cycles today, if we do need flexi-ramp they're
5 going online to Pmin, which can be anywhere from 25 to 50
6 percent of their load. And then there are dispatch for
7 energy as you might need them.

8 When you do the re-dispatch of a hybrid in the
9 dispatch stack, and it's providing the GHG-free spinning
10 reserve, that means 100 percent of my combined cycles can
11 now be there for actual energy. That means they're
12 running at a more efficient point, which means GHG
13 savings. It means load payment savings.

14 By our calculations out through 2030 the
15 average would be about 38,000 metric tons per year per
16 EGT in the system. The overall system -- don't want to
17 mess this up here.

18 The CCGTs, because you freed them up, that
19 additional megawatts can is now flexible, where it wasn't
20 flexible before because I was reserving it. It can now
21 go towards inter-hour flexibility. It can go to meeting
22 the ramp, so your entire Pmin of the system is actually
23 reduced and your peak energy can now be met with more
24 efficient resources.

25 And as a side benefit, because the site-

1 specific emissions are going to be reduced that does have
2 advantages for disadvantaged communities.

3 So Edison, in terms of what has been their
4 experience has been really exactly what we talked about.
5 Their use case has been changed from one of being a
6 peaking plant to being a reliability center. They had
7 over 90 percent of the hours that were in spinning
8 reserve. That means they were displacing something else
9 that was burning fuel. A small amount of time they were
10 in regulation, overall GHG reductions at site specific
11 was about 60 percent. That also goes towards local
12 criteria pollutants, same amount. And they're estimating
13 a 45 percent reduction in water usage at the site, which
14 their estimates right now is about the savings of a
15 million gallons a year. Thank you.

16 CHAIRMAN WEISENMILLER: So a couple questions.
17 One is what's the optimal, in terms of the ratio of
18 storage versus this. You know, do you have a sense of
19 what the optimal sizing criteria are?

20 MR. MCDANIEL: Yeah, so in all cases you want
21 to optimize on a minimum size storage that's going to
22 give you the maximum benefits. And I think as a rule of
23 thumb, 20 percent.

24 CHAIRMAN WEISENMILLER: 20 percent.

25 MR. MCDANIEL: And I think that would also

1 apply to other technologies that we're beginning to look
2 at in colluding combined cycle plant, of the operating
3 range.

4 CHAIRMAN WEISENMILLER: Okay. That was good.
5 This is certainly interesting. As you know we have -- as
6 far as questions it's going to be in terms of how does
7 this actually happen in terms of obviously a lot of our
8 gas fleet at this point is -- the owners have put them up
9 for sale and no one's bought them. The price has been
10 too low, so how do you get someone to invest in the gas
11 fleet to build the storage in?

12 MR. MCDANIEL: I think it's a good question,
13 but I think when you look at the benefits that that
14 actually brings to the grid in terms of integrating
15 renewables, and in terms of reducing overall cost, that
16 the value is there for the investment to actually occur.
17 Where, if you leave the conventional assets alone, their
18 value is continuing to degrade even though the system
19 needs them for reliability.

20 CHAIRMAN WEISENMILLER: Thanks.

21 MS. RAITT: Okay, great.

22 So next I'll move to Douglas Black and Jason
23 MacDonald from Lawrence Berkeley National Laboratory.

24 MR. BLACK: Okay. Well, we're going to really
25 going to challenge the time limit here, but we'll try and

1 just hit the high points and leave plenty of time for
2 questions.

3 The Los Angeles Air Force Base converted its
4 gas fleet of vehicles to a mix of battery electric
5 vehicles and plug-in hybrid electric vehicles. The
6 primary mission and objective was to demonstrate that
7 electric vehicles could meet the mobility mission.

8 Our mission there was to develop a control and
9 optimization system to minimize the charging costs and
10 maximize ancillary services, regulation, revenue
11 participation. All of the vehicles and charging stations
12 were bi-directional charging capable.

13 This is a pretty busy box diagram of the
14 system. I just really want to highlight that we had a
15 control system server on the site at the base that
16 communicated. That did forecasting and optimization and
17 charge control of the vehicles to minimize charging
18 costs. It forecasts day ahead bids that were transferred
19 to our scheduling coordinator at Southern California
20 Edison. Those were then transmitted to the top of the
21 California ISO. Awards were then transmitted back
22 through SCE to us and ISO had control during market
23 participation, direct control with the AGC signal being
24 sent directly to our control system that then was
25 disaggregated to discharge each individual vehicle to

1 meet that aggregated target.

2 We had a bit of a more manual bidding and
3 awarding procedure than was optimal, really. There were
4 -- we transmitted our bids to SCE through a standard
5 spreadsheet day ahead. At 8:00 a.m. they submitted bids
6 to ISO. At 10:00 a.m. awards were then transmitted back
7 to our resource, where we had set up an automated
8 processing of an email with a spreadsheet form of awards
9 to then set up for our charging and participation the
10 next day.

11 We bid -- well we were certified by CAISO for a
12 500 kilowatt resource, both in up and down regulation,
13 this was first generation hardware we had issues with.
14 There were hardware issues that was the responsibility of
15 another part of the project. We were really forced to
16 bid at the minimum 100 kilowatts of up and down. But we
17 did, at that minimum as many hours as we could to gain as
18 much experience and information with ISO, and our own
19 resourcing collect as much. What we're really looking
20 for is how would a resource like this be dispatched?
21 What kind of AGC award would we get? How would we
22 respond to it? So we want to get as much experience with
23 that as possible.

24 Later in the project when the resource became a
25 little more dependable, reliable, we did rely more on our

1 optimization where we varied our bids based on the
2 varying load that we had that comes with electric
3 vehicles.

4 Here's just one example of two hours of our
5 participation, which the blue line is the AGC signal sent
6 from ISO. The red is how our aggregated fleet of
7 vehicles responded. The overlay went very well, the
8 resource responded rapidly to the four-second signal.

9 One of the big questions we get of course is
10 how much revenue was generated? How much money did you
11 make in the market? As the hardware problems did limit
12 us, they were far lower than we had hoped to be as far as
13 in size of what we could provide in the market. And
14 given all of the -- sort of given the CAISO resource fees
15 and scheduling coordinating fees, we were only in the
16 black for one month.

17 Oh my goodness. Okay. I'm going to speed up.

18 But when those fees are taken are removed and
19 just looking at a per vehicle basis, we had anywhere from
20 \$25 to \$70 per vehicle, per month, if we don't include
21 the fees. And I'll skip over those fees and --

22 MR. MACDONALD: Yeah, so I'll jump in and talk
23 a little bit about market challenges, market
24 participation challenges and at a high level anyway.

25 The most important thing and why it was

1 difficult with these resources, is they change in size
2 all day long as vehicles unplug and re-plug in. And so
3 with this resource changing in size there isn't
4 mechanisms for battery resources and things like that in
5 the market. And CAISO struck in the way that they
6 operate, to manage those changing parameters throughout
7 the day without going into outage modes and it's not
8 really what it's meant for.

9 So that created a lot of issues for us. One
10 particular thing that I'll point out is that CAISO did
11 help us in one of these particular things with managing
12 state of charge in the day ahead market and I can go into
13 more in detail later if necessary.

14 Another issue was with our telemetry. When we
15 sent telemetry that represented the actual connected
16 resource we had, even if that was greater than what we
17 had been awarded in the day ahead market, the ISO would
18 immediately dispatch us to that greater telemetry value.
19 And so we had to manually or take and instead report in
20 telemetry, the lesser of our award or what was actually
21 available currently, because we are choosing our awards
22 based on what we can do throughout the whole day knowing
23 our schedule.

24 Another thing that was important that was
25 alluded to, is that we couldn't participate in hour-ahead

1 bidding. And that was because we didn't have an
2 automated path to get our bidding to SCN. It was just
3 far too cumbersome for them to take that kind of
4 information, and which made us much more conservative
5 with our bidding.

6 MR. BLACK: And just one last point I want to
7 make. We have a follow-on project, a CEC EPIC project.
8 Because one of the big remaining questions while we tried
9 to look at it in this study, and another group from MIT
10 that was involved through another funding source, tried
11 to look at the impact of providing bi-directional V2G
12 services with vehicle batteries. What is the impact on
13 those vehicle batteries?

14 We tried to tease it out as much as we could
15 from the data we had. We didn't see anything that
16 indicated there was a greater degradation, but we also
17 don't have enough variation across the batteries as far
18 as the amount of V2G that was provided that we can tease
19 out any type of relationship.

20 So with this follow-on project, we are going to
21 start with new batteries in the LEAFs, take the old
22 batteries in a second-life application, in some
23 temperature controlled chambers on the site to support
24 the PV that's also at the site. And do a controlled
25 study with the AGC signals that we collected and

1 challenge batteries at different degrees to look for a
2 relationship between providing V2G service and battery
3 degradation, because that's a big remaining question in
4 using these vehicles in this application.

5 CHAIRMAN WEISENMILLER: Well, thanks.

6 Obviously this is primary research. And one of the
7 things I wanted to focus on is at this point at least
8 have you reached agreement with the ISO? My impression
9 with the ISO, was that one point was that what you
10 thought you were providing and what they thought, there
11 was a mismatch there. At this point, are you at least
12 synced up between with the ISO and what you're delivering
13 in terms of services?

14 MR. BLACK: Yes, and we had a period where we
15 weren't syncing up. It took some work with them to get
16 synced up that way. But with the performance scores we
17 received from them, we met the accuracy requirements
18 other than one situation with where there was a mismatch
19 in the minimum amount we said we could provide, which
20 excluded all but three of our 15-minute periods in a
21 month. And that lead to a decertification.

22 But no we -- their telemetry should show our
23 response met what they were sending.

24 CHAIRMAN WEISENMILLER: Okay. No, that's good.

25 MR. BLACK: Yeah.

1 CHAIRMAN WEISENMILLER: And again, I think
2 before this I was going to say is a problem, I think
3 we've all seen the one vehicle at PJM, so it's good to
4 see more of a fleet. And the question was again the odds
5 that they were to call David and I and say, "Okay, we
6 need your car now," that it's plugged in is pretty small.

7 But you know with the fleet presumably of
8 vehicles, either that of a collection of charging
9 infrastructure you at least have a shot of the VGI
10 providing some value to the grid.

11 MR. BLACK: Yes. The fleet is definitely the
12 way to start. And we thought with the military fleet
13 too, with a reservation system that there would be a
14 great response to providing -- we would know when every
15 vehicle would be checked out and when it would be used.
16 Not so much.

17 Even in a military fleet that is very
18 regimented, it's still a challenge to predict when a
19 vehicle will be used and when it will be available. But,
20 still fleets are the better way to go. But I wouldn't
21 exclude public either. We have another project using
22 public vehicles too. That it could work.

23 CHAIRMAN WEISENMILLER: Great. Okay. Thanks.

24 MS. RAITT: Okay. So next is Shana Patadia
25 from ChargePoint.

1 MS. PATADIA: Okay. All right, so I'm
2 Shana Patadia. I'm from ChargePoint and so what we
3 worked on was a Residential Controlled Charging
4 Pilot as well as some 15118 Integration effort, so
5 I'll try to go through this quickly and get to all
6 of that.

7 So one of the things we did was a
8 Residential Load Management Pilot Project. And in
9 this project we provided 30 ChargePoint home
10 stations to residential customers in San Diego Gas
11 and Electric territory. And the way that this pilot
12 worked was we basically took one month where we
13 collected data about each of these drivers'
14 behaviors in terms of how much they charged each
15 evening and what time they plugged in, and what time
16 they departed each morning.

17 And then we had a second phase where we
18 basically controlled these drivers charge overnight.
19 And the idea here, the premise of the pilot was that
20 we wanted to charge these EVs overnight, in a way
21 that was as responsive to the SDG&E price signal as
22 we possibly could be, but without either touching
23 the driver's experience whatsoever or by slightly
24 benefiting them by saving them some money, and so
25 really trying to create this win-win situation.

1 The way that we did this was after that
2 first month phase in the second two months where we
3 sent them a controlled charging schedule, each of
4 the drivers would have downloaded the ChargePoint
5 app. And when they plugged in their vehicle each
6 evening, they would get an email or a text message
7 on their phone. And the message, we tried to do all
8 of the thinking for them. I think a previous
9 speaker kind of made the comment that if you want
10 demand response to work, you've got to make it
11 simple. And that's how we approached this too. If
12 we want people to really use the TOU price, we have
13 to make it simple.

14 And so the message that they got was
15 something like, "Your vehicle will have 40 miles of
16 charge added to it by 7:00 a.m. tomorrow. If you
17 would like override it for today, please click this
18 button," so very, very simple messaging.

19 And then if they for some reason didn't opt
20 out, they could later go in and opt out for that
21 day. And again, the next day they'd get the same
22 message and have the opportunity to make a decision
23 again.

24 We saw a great response actually, so of the
25 1,005 sessions, charging sessions that were

1 conducted during this period of our trial, about
2 just over 50 percent of them people stayed in the
3 charging schedule, so less than 50 percent opted
4 out.

5 And if you look at the price per kWh, and
6 obviously this is all related to the price signal we
7 chose and we used a price signal from the SDG&E
8 Power Your Drive Program, so it's an experimental
9 rate. But that being said, if you look at the
10 difference in the price cents per kWh without the
11 charge scheduling the price was around 29 cents per
12 kWh and then with the charge scheduling that was
13 about 16 cents per kWh.

14 So that's a significant difference,
15 especially when you consider that it meant nothing
16 really to the driver. They benefited equally in
17 terms of their driving capability in both
18 situations.

19 And then, as I mentioned on the right of
20 that slide, basically if we assume that the average
21 home charger charges their vehicle 300 kWh per
22 month, that can be an annual bill reduction of
23 around \$500. That can be significant. So yeah, so
24 in the interest of trying it always think about
25 creating a simple solution for the customer we

1 really wanted to always create a low effort
2 solution, but also one that would allow the driver
3 to have high confidence.

4 And, you know, I spoke to a lot of the
5 people that participated in our pilot. I also had a
6 survey and we got some of their feedback. And what
7 we learned is the drivers said -- so one of the
8 questions I had asked them was if something like
9 this became a permanent program, what would motivate
10 you to participate? And one of the answers that we
11 got often was, "I wish I could see the state of
12 charge in my app. I wish understood the total miles
13 of charge, not just the miles added. I wish I could
14 just limit the vehicle to charging up to 80 percent
15 SOC, so that I could use my regen braking," etc.

16 And I think that's a very interesting
17 result, basically the idea that just providing the
18 drivers with more information would increase their
19 willingness to participate. And I think that that's
20 probably a lesson that can significantly also be
21 pulled away from the residential setting, but into
22 the commercial setting or public charging like Doug
23 was talking about.

24 And I know one of the pilots they worked
25 on, they asked the drivers for more information.

1 And having that info makes the driver feel more
2 comfortable that you're going to actually get done
3 what they need.

4 Another portion of our project was getting
5 simulation results from Lawrence Berkeley National
6 Labs through their V2G Sim tool. And to summarize
7 this slide since time is short, basically I think
8 what we got out of the exercise was a) network
9 chargers are absolutely essential, because whether
10 there's TOU or DR or whatever we want these vehicles
11 to respond to in the future, if we don't have those
12 network chargers out there in homes, how will we
13 ever be able to take advantage of that?

14 And secondly, you know, thoughtfully
15 controlling this residential EV charging as shown in
16 this slide would allow us to stagger the charge. So
17 that if you have ten of your neighbors all buy EVs
18 you're not overloading the transformer and suddenly
19 need a distribution upgrade. You can defer that
20 just by strategically charging those and staggering
21 the charge.

22 And then finally, what we also did through
23 this project was we integrated 15118 on a
24 ChargePoint home station and we tested that against
25 a Daimler Smart ED vehicle. And we were able to

1 look at the various capabilities as much as we could
2 with that vehicle. So we tested pass-through
3 pricing as well as a calculated charging schedule
4 back and forth. And basically we were able to
5 successfully demonstrate the use of 15118. And
6 that's it.

7 CHAIRMAN WEISENMILLER: I guess ChargePoint
8 has a variety of chargers, home chargers, workplace
9 chargers etcetera. I'm just trying to figure out,
10 in terms of have you tried experiments on the
11 workplace side?

12 I think you've probably heard President
13 Picker say that his charger at home is used only by
14 him. It's only used when his car is there and
15 charging at night is not hitting or the duck curve.

16 So trying to get people to focus more on
17 workplace charging and trying to focus on basically
18 providing this sort of shifting, but trying to shift
19 into the duck as opposed to within some points in
20 the night.

21 MS. PATADIA: Yes, so I can respond to that
22 with two things. One is the project that we're
23 doing. Alameda County uses the LBNL team is doing,
24 uses ChargePoint chargers. And one of the things
25 they're doing there is asking people when they park,

1 "How much charge do you need? How long are you
2 going to be parked here?" And then adjusting the
3 charging accordingly, so they're basically
4 distributing that charge along with the charge at
5 their other stations there in trying to keep their
6 demand charges down, but also manage the overall
7 load.

8 Another response I'd have is that we at
9 ChargePoint have been looking at programs like the
10 Excess Supply Pilot, for example, which directly
11 addresses the duck curve. What I will say though is
12 some of those programs can be challenging, because
13 very similar to some of the reasons Doug pointed
14 out, the load of these EVs is very small and it's
15 unpredictable. And some of these products haven't
16 necessarily been catered to the EV load.

17 CHAIRMAN WEISENMILLER: Yeah, I mean
18 obviously Google or Facebook, a lot of the Silicon
19 Valley companies have very large numbers of
20 workplace chargers. Are you connected with them?

21 MS. PATADIA: Yeah, and they are fully
22 capable of using what we call power management, so
23 basically keeping their power ceilings low. My
24 understanding, and obviously I can't speak for any
25 of those companies, but my understanding is that the

1 economics haven't necessarily played out to make it
2 worth it for them to bid into these various programs
3 or participate. Just because there isn't sufficient
4 earning for them to make or the minimum bid is too
5 high or various other reasons.

6 CHAIRMAN WEISENMILLER: Okay. Thanks.

7 COMMISSIONER HOCHSCHILD: Just curious, how
8 many chargers does ChargePoint have today?

9 MS. PATADIA: Oh, I wish I knew the number.
10 I don't unfortunately.

11 CHAIRMAN WEISENMILLER: If you could submit
12 it later for the record, that'd be great.

13 MS. PATADIA: Absolutely. Absolutely.

14 MS. RAITT: Okay, so thank you.

15 Next is Rohan Ma from Tesla.

16 MR. MA: Great, hi. My name is Rohan Ma.
17 I manage the Energy Optimization Team at Tesla and
18 what that means is we develop the dispatch
19 algorithms for stationary storage under Tesla's
20 direct control. That's everything from the consumer
21 power wall product operating behind-the-meter to
22 aggregations as well as utility scale storage that
23 we control. That's what I'm going to talk about
24 today, is our experience operationalizing the large
25 Australia battery at the end of last year.

1 This is just a nice picture of the site.
2 The site is called the Hornsdale Power Reserve.
3 It's in South Australia. Neoen is our partner where
4 the site is located.

5 And just some key stats on the project.
6 It's a 100MW/129MWh battery. It's co-located with a
7 309MW wind farm. The resource is registered as two
8 resources, because that market there doesn't have a
9 storage resource ID. And so the discharge side is a
10 generator and the charge side is a dynamic load.
11 And it's registered for nine products in that
12 market, so Energy Regulation Raise and Lower and
13 then all the six other contingency products are
14 similar to spin and non-spin operating reserves here
15 in the U.S., just different variations of it.

16 So every time we bid we're bidding two
17 resources across nine products.

18 Just some charts of how operations have
19 gone. This is a day, a few weeks after we turned on
20 when there was really volatile energy prices, doing
21 what I think is most intuitive to people in terms of
22 how energy storage should work when we charging at
23 low prices and discharging at high prices.

24 On this day, the energy prices in Australia
25 are uncapped or essentially uncapped, most similar

1 to ERCOT in Texas. And so prices were actually up
2 at \$14,000 a MWh on this day when we were
3 discharging. There is no capacity market in that
4 market.

5 The other big application for the battery
6 is to provide contingency support and so this was a
7 day early on where the battery was responding to a
8 frequency event on the grid. And so whenever the
9 frequency in Australia goes outside the nominal
10 range, in this case it was below 49.85 hertz the
11 system autonomously responded. And so the x axis
12 here is second and you can see the blue line is
13 dipping below the bottom dotted line. That's as
14 soon as the frequency dipped out of the nominal
15 range, the battery immediately started to respond.

16 We could have responded with a more
17 significant power injection, but we're actually
18 limited and throttled back in terms of how quickly
19 we respond, because of just the coordination issues
20 on the grid. And so we have a proportional
21 response, as frequency continues to dip lower and
22 lower our power response increases and then comes
23 back down as frequency starts to approach the
24 nominal level.

25 So in terms of how we operationalize this

1 battery in the market, this is just a flow chart of
2 the basic steps in terms of who's involved. There's
3 obviously the physical Tesla battery. We're then
4 operating it in the cloud, we call it Autobidder.
5 That's in an Amazon web service. That's generating
6 all the bids and all the optimization and
7 forecasting.

8 We're passing those bids through machine-
9 to-machine APIs to our partner's control room, the
10 operations room in South Australia, which is manned
11 24/7 365. Those bids are basically passing straight
12 through and going directly into the market operator
13 who's clearing the market and then communicating
14 market enablement through the transmission operator
15 directly to the battery.

16 And so just in terms of how we've
17 implemented this, I think for a lot of people in the
18 room that are familiar with this, but because energy
19 is an energy-limited resource, the way we have to
20 think about bidding and participating is very
21 different than renewable resources or conventional
22 thermal resources. Because we are buying and
23 selling electricity, so our marginal costs or what
24 our bids are based on is really a function of an
25 opportunity cost. And that is constantly changing,

1 particularly with a shorter duration battery,
2 because it's a function of our forecast or short-
3 term expectation of market conditions.

4 And so because of that, we are actually
5 bidding every five minutes into this market. So the
6 rough kind of timing is about 30 seconds into the
7 current 5-minute dispatch interval. We are
8 collecting information from the market that has just
9 been updated. That is feeding a set of forecasting
10 models and algorithms that we used to update our
11 expectation of what's going to happen and that comes
12 into an optimization or a decision-making model.

13 The output of that is a bid, which is then
14 validated and passed through the market. And so
15 we're bidding about 60 seconds ahead of the dispatch
16 interval clearing, which is very different than
17 CAISO and other U.S. markets that we are actually
18 bidding. You know, we're getting awards or we're
19 bidding 30 seconds before an actual dispatch
20 interval is set. And that's because their market
21 runs much more quickly than the U.S. markets in
22 terms of the way they solve it.

23 And so about five, ten seconds into the
24 next dispatch interval we're getting our awards for
25 that interval and then we're collecting information

1 and already thinking about the next dispatch
2 interval.

3 COMMISSIONER MCALLISTER: So is this
4 basically an automated process?

5 MR. MA: Yeah.

6 COMMISSIONER MCALLISTER: So you basically
7 say here's our envelope of what we want to achieve
8 and you just sort of automate that in?

9 MR. MA: Yeah. It's all algorithmically
10 driven is the way to think of it. Obviously, we're
11 supervising it and we've developed it, but it's
12 essentially a machine-learning model seeking
13 information and generating bids.

14 COMMISSIONER MCALLISTER: But on the
15 dispatch side as well?

16 MR. MA: Well, so it's going into the
17 market operator, basically clearing the market
18 against all resources and communicating the enabled
19 award directly to the battery.

20 COMMISSIONER MCALLISTER: Right, okay.

21 MR. MA: So we're using, yeah we're using
22 algorithmic driven strategies to generate our bids,
23 but ultimately it's being cleared just like any
24 other resource.

25 COMMISSIONER MCALLISTER: But at also a

1 very short interval?

2 MR. MA: Yeah, every five minutes. Yeah.

3 COMMISSIONER MCALLISTER: Yeah, okay.

4 Thanks.

5 MR. MA: And then yeah, I'll just to wrap
6 up. I mean, this is just a visual of market
7 activity. This isn't a metric of success or
8 anything like that, just the sizes are a count of
9 rebids or bidding activity in the market. And the
10 two big ones are the battery load and generator size
11 and this is just a way to show, I guess how much
12 more active we've been in this market, than any
13 other resource.

14 The next biggest circles are hydro, which
15 is the most similar to energy storage. But we
16 really have a bid at a much higher rate than any
17 other resource, simply because of the nature of the
18 challenge we're trying to solve operationally.

19 And then the last one is just a
20 visualization of the number of the different unique
21 combinations of awards that we had in the first
22 month. And the two to call out are the two far
23 right ones where the far right one is intervals
24 where we cleared every single product
25 simultaneously, so the battery is earning revenue

1 across all nine products at the same time. So maybe
2 it's got an energy award to charge, but it's
3 providing flexibility up and down, both in
4 contingency and regulation simultaneously.

5 And then maybe even the more interesting
6 one is the one second from the right, which is all
7 eight products without energy. So meaning we're
8 providing all the ancillary services with no energy
9 awarded in the market. And that's unlike any of the
10 other conventional resources there, because they
11 have to be in the market in energy in order to
12 provide the flexibility off that base point.

13 So I think consistent with what people
14 expect, but this is all real data and it's operating
15 24/7, 365 as of now. That's it.

16 COMMISSIONER HOCHSCHILD: Great. I know we
17 had J.B. Straubel came and spoke here maybe six
18 weeks ago and gave an overview. And said the
19 project is over-performing from a financial
20 perspective as well.

21 MR. MA: Yeah. Yeah, it's doing well. I
22 can't speak about the specifics, but financially it
23 is doing quite well.

24 COMMISSIONER HOCHSCHILD: And I understand
25 it was built -- Elon Musk said it would be built in

1 less than 100 days, it would be free. And you got
2 the tests run.

3 MR. MA: Right, yeah.

4 COMMISSIONER HOCHSCHILD: Yeah, I mean I'm
5 just curious looking ahead, I mean this is obviously
6 a landmark project. The largest storage project in
7 the world, but do you -- how rapid growth do you
8 foresee? I mean, given these results and the
9 implications for California, and I don't know what
10 your California market looks like for future
11 projects like this. But I mean, how rapidly do you
12 see the storage market developing in California?

13 MR. MA: Yeah. I mean I think to a certain
14 degree there's some degree of, I guess we're seeing
15 this in Australia where now that we're in the market
16 and folks are seeing what the technical capability
17 of the resource is, it's making them rethink
18 potentially some of the products that the market
19 itself requires. And some of the standards
20 associated with those products, that I think will
21 change the market structure there.

22 I mean, here in CAISO there are some
23 aspects of storage compensation that are better than
24 Australia already. The U.S. generally, things like
25 mileage payments for frequency regulation and things

1 like that, that doesn't even exist in Australia yet.

2 At the end of the day, I think that the
3 need needs to be there for the batteries to provide
4 services. And that is fundamentally driven by
5 renewable penetration.

6 I guess the only other aspect I would add
7 is things like accuracy scores for frequency
8 regulation are important. In terms of what we're
9 seeing in Australia is that we are providing a
10 service that is, even though it's the same product,
11 it's fundamentally different than what the
12 conventional thermal resources are providing in
13 terms of quality. And this is something the market
14 operators are starting to quantify and realize.

15 And to the extent that those types of rules
16 could be improved here in terms of accuracy and
17 things like that, it's going to help storage in
18 terms of where we are today.

19 COMMISSIONER HOCHSCHILD: Yeah, a couple of
20 more just quick questions?

21 MR. MA: Yeah.

22 COMMISSIONER HOCHSCHILD: What is roughly
23 the roundtrip efficiency here? Lithium ion's your
24 chemistry right, and is it you're 85, is it roughly
25 around that?

1 MR. MA: Yeah, it's around that. Yeah.

2 COMMISSIONER HOCHSCHILD: Is that right,
3 and have you looked at other chemistries? Vanadium,
4 or any of the other?

5 MR. MA: Tesla surely has. You know, we're
6 not right now. I mean, we're pretty wed to that
7 technology right now in terms of our whole supply
8 chain and manufacturing being oriented around that.
9 But yeah, I mean Tesla's constantly reevaluating
10 those types of technologies and are really looking
11 at what's needed to get to the fully sustainable
12 grid in terms of 10 years down the line, 20 years
13 down the line. And those are all conversations, but
14 I mean in this case we've had to do something in 100
15 days. It was pretty clear what technology we were
16 going to use.

17 COMMISSIONER HOCHSCHILD: Yeah. I mean
18 I'll just say in closing I am a big supporter of
19 regionalization as a vision for the state. And I
20 think that's a sentiment pretty widely shared by my
21 colleagues. But that is in the hands of the
22 Legislature that doesn't get it over the finish
23 line. I mean, we've got to solve this challenge
24 somehow and I think the advantage of storage is it
25 goes both ways, right? You can produce power and

1 you can absorb power and it does provide that
2 resource.

3 Well, thanks for your presentation. It was
4 terrific.

5 CHAIRMAN WEISENMILLER: Yeah, thanks.

6 MS. RAITT: Okay. So that's the last of
7 our speakers. We can go on.

8 CHAIRMAN WEISENMILLER: So let's go to
9 public comment, anyone with a blue card? Please.

10 (Off mic colloquy.)

11 MS. RAITT: So did you have one of these
12 cards that you wanted to speak?

13 CHAIRMAN WEISENMILLER: Yeah. I was going
14 to say we have only one blue card, certainly come on
15 up. Steve?

16 And anyone else who wants to speak, please
17 give a blue card.

18 MR. UHLER: Good afternoon and Happy
19 Solstice in about 12 hours. Thank you,
20 Commissioners, for my chance to speak here.

21 I'd like you to think about a couple of
22 things. They were talking about renewables going to
23 baseload. I think they need to go to a load
24 following, then also modeling has a lot of
25 limitations. I'd like to see if you can go to

1 material requirements planning, what used to be
2 called MRP or is MRP.

3 Because a lot of the questions and a lot of
4 what was shown in this meeting, you could be
5 clicking on a screen and having all those answers
6 all the way down to the solar panel that was used
7 and how somebody ended up using those dumb inverters
8 to feed the transmission system, because of their
9 capabilities that they have but used in a different
10 situation.

11 So I'd hope you'd think about for one
12 identifying all of the power plants, all of the
13 components in your appliance database, all of them
14 in your solar panels, with a number system that's
15 very friendly to high-speed data processing, because
16 you could get all of these answers. You wouldn't
17 end up with a high, medium and low.

18 You could say, "What if we go this way?
19 What if we do all this hybrid stuff? How is it made
20 up and what will happen to Tesla's bidding system
21 when there's 100 people doing Tesla's bidding type
22 systems? You could actually see that happen,
23 because you build a physical product structure. I
24 see that missing and I'm hoping that the Energy
25 Commission will put together that stuff.

1 I've already sent a data structure to the
2 Commission for power content. If you can define
3 what goes into power content down to little tiny
4 utilities, you should be able to run that all the
5 way up. Divide and conquer and handle all of the
6 data that's required to move this faster. I want
7 that Tesla stuff here. I want that hybrid gas
8 generator. I want that now.

9 We should already be further along. People
10 talk about a duck chart, does anybody remember a
11 zero energy home curve? I'll put that in my written
12 comments where you'll see there's a lot of -- we're
13 reinventing things that we talked about years ago.

14 I think about a guy named Daryl Chapin.
15 He's co-inventor of the solar panel. If he would be
16 talking about this like duck chart, "What do you
17 mean? 1952 when I made this thing Bell Labs hadn't
18 look at that kind of stuff."

19 We need to move forward faster, so please
20 think about redundant, man flight, belt-and-
21 suspender approach of having four or five or six
22 forecasting resource planning systems that play
23 against each other and compete. Instead of right
24 now it's resolve and pathways? Those have got to be
25 tedious to keep going and they're slow, so think

1 about that. Thank you.

2 CHAIRMAN WEISENMILLER: Thank you.

3 Valerie?

4 MS. WINN: Good afternoon, Chair
5 Weisenmiller and Commissioners. Chair Weisenmiller,
6 you had asked Ms. Burns a question about the number
7 of renewables contracts in PG&E's portfolio. So I
8 wanted to let you know that we have about 275 non-
9 utility owned gen RPS contracts. And that
10 represents about 7,000 megawatts in total. Thank
11 you.

12 CHAIRMAN WEISENMILLER: Thank you.

13 So any other public comment, either in the
14 room or on the line?

15 MS. RAITT: So on WebEx, if you want to
16 raise your hand to let our WebEx Coordinator know
17 that you want to comment?

18 (No audible response.)

19 MS. RAITT: Okay. So there's nobody, but
20 we're going to take a moment to open up some phone
21 lines. So folks who are on the phone line and
22 wanted to make a comment will have an opportunity.

23 Okay. So nobody on the phone to make
24 comments.

25 CHAIRMAN WEISENMILLER: I wanted to thank

1 everyone for their participation today. We're
2 looking forward to the written comments, which are
3 due?

4 MS. RAITT: July 5th.

5 CHAIRMAN WEISENMILLER: And again I'd like
6 to see more progress next year than we've had so far
7 on I think we've done a pretty good job about
8 identifying issues. But in terms of really trying
9 to move forward on implementing solutions and
10 mitigation, that seems to be dragging.

11 COMMISSIONER HOCHSCHILD: No comment, let
12 me just thank the staff, Kevin in particular for a
13 great day and a really, really fruitful discussion.

14 COMMISSIONER MCALLISTER: I wasn't here for
15 most of the day, but I'm looking forward to reading
16 the -- particularly that first afternoon panel that
17 I missed, so I hope to see comments on that as well.
18 Thanks.

19 CHAIRMAN WEISENMILLER: Great, so the
20 meeting's adjourned.

21 (The workshop was adjourned at 3:47 p.m.)

22

23

24


25

REPORTER' S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 4th day of December, 2018.

A handwritten signature in cursive script that reads "Juliana Link". The signature is written in black ink on a light-colored, slightly textured paper background. The signature is positioned above a horizontal line that extends to the left across the page.

Juliana Link
CER-830

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



MARTHA L. NELSON, CERT**367

December 4, 2018