

| DOCKETED | |
|-------------------------|-----------------------------------------|
| Docket Number: | 18-MISC-04 |
| Project Title: | Vehicle Grid Integration Roadmap Update |
| TN #: | 226038 |
| Document Title: | 2018 Workshop |
| Description: | N/A |
| Filer: | Cody Goldthrite |
| Organization: | California Energy Commission |
| Submitter Role: | Commission Staff |
| Submission Date: | 12/7/2018 8:35:57 AM |
| Docketed Date: | 12/7/2018 |

CALIFORNIA ENERGY COMMISSION

In the Matter of:

California Vehicle-Grid)
)
Integration Roadmap Update)

WORKSHOP

CALIFORNIA ENERGY COMMISSION

1516 NINTH STREET

FIRST FLOOR, ART ROSENFELD HEARING ROOM

SACRAMENTO, CALIFORNIA

TUESDAY, OCTOBER 30, 2018

9:00 A.M.

Reported by:

Gigi Lastra

APPEARANCES

STAFF

Eli Harland Electric Generation Specialist, Siting,
Transmission, and Environmental Protection Division

Matthew Fung, Mechanical Engineer, Energy Research and
Development Division

Noel Crisostomo, Air Pollution Specialist, Fuels and
Transportation Division

Laurie ten Hope, Deputy Director, Energy Research and
Development Division

PANELISTS

Kenneth Rohde, Idaho National Laboratory

Joshua Eichman, National Renewable Energy Laboratory

Celia Dayagi, Siemens

Jacqueline Piero, Nuvve

Sunil Chhaya, Electric Power Research Institute

Oleg Logvinov, Charging Interface Initiative (CharIN)

Barton Sidles, Hubject

Byron Washom, University of California San Diego

Doug Black, Lawrence Berkeley National Laboratory

Samveg Saxena, Lawrence Berkeley National Laboratory

Carlo de la Cruz, Sierra Club

Eric Borden, The Utility Reform Network

Rick Kubin, Grid Democracy

Peter Klauer, California Independent System Operator

Carolyn Sisto, California Public Utilities Commission

Stephanie Palmer, California Air Resources Board

Ray Gonzalez, California Energy Commission

PUBLIC COMMENT

Eric Borden, The Utility Reform Network

Obrie Hostetter, Hubject

Vincent, Kitu Systems

Steve Davis, Oxygen Initiative

Dean Taylor, Southern California Edison

Jeremy Whaling, Honda

Pamela McDougall, National Resources Defense Council

Karim Farhat, PG&E

Matt Coldwell, California Energy Commission

Holmes Hummel, Clean Energy Works

Ryan Hardy, Honda

Richard Schorske, EV Alliance

Unidentified Male 2

Erick Karlen, Greenlots

Francesca Wahl, Tesla

Steve Davis, Oxygen Initiative (via WebEx)

AGENDA

| | <u>Page</u> |
|-----------------------------------------|-------------|
| Welcome and Opening Remarks | 5 |
| Discussion Panel 3: Technology Needs | 11 |
| Public Comments | 94 |
| Discussion Panel 4: Customer Experience | 126 |
| Public Comments | 232 |
| Wrap Up | 263 |
| Adjourn | 276 |

1

P R O C E E D I N G S

2 OCTOBER 30, 2018

9:00 A.M.

3 MR. HARLAND: Hey, good morning, everybody.

4 We're -- we're going to get started here. So if everybody
5 can find their seats, we'd appreciate that. We'll
6 probably have a few folks straggling in too. I noticed
7 that there's -- that there's a couple of folks at
8 security gate. So. But we're going to -- we're going to
9 get started. We've got a lot to get through today and we
10 want to be able to cover all the topics in-depth.

11 So again, my name is Eli Harland. I work here at
12 the California Energy Commission and I'm helping
13 facilitate the update to the Vehicle-Grid Integration
14 Roadmap. Thank you everybody for coming back for day two
15 of our workshop. I'm going to go through a couple of
16 housekeeping items before passing it over for some
17 opening comments, and then we'll get right in to our
18 first panel.

19 So just like yesterday, in case of a -- in case
20 of emergency, please follow Energy Commission's staff
21 diagonally across 9th Street to Roosevelt Park. That's
22 where we'll gather if there's an emergency.

23 For those that are on WebEx, please keep in mind
24 that we're going to keep your phones muted. If you could
25 help us and keep your phones muted as well, we would

1 appreciate that. We are broadcasting today's meeting
2 through the WebEx system. We're recording this meeting.
3 We will post that recording shortly after the workshop.
4 We're also transcribing the meeting and so that
5 transcript, once available, will also be posted for your
6 reference.

7 So I'm going to invite -- invite Lori ten Hope,
8 Deputy Director of the Research and Development Division
9 here at the Energy Commission to make some opening
10 comments for us. And then after that, we'll get started
11 with the -- with the panel. So Lori.

12 MS. TEN HOPE: Thanks, Eli. So it's my pleasure
13 to welcome everybody to day two of the VGI workshop. And
14 I'm just going to provide some brief context to remind us
15 why we're here and why transportation is so important.
16 So I'm just going to remind us of some important
17 statistics that kind of set the stage for why VGI can
18 assist us in achieving our policy goals.

19 So nearly 40 percent of our GHG emissions come
20 from transportation. And if we think about the emissions
21 from refineries, that number goes up to -- hovers around
22 50 percent. So in California, it's a really significant
23 contributor to -- to GHG. It's also, motor vehicles are
24 the largest source of air pollution. About 90 percent of
25 the diesel particulates and 80 percent of the NO_x comes

1 from our transportation sector.

2 So we've made -- we've made improvements in air
3 quality, but there's a lot more that remains to be done
4 and given the context of the contributions to climate and
5 the unhealthy contributions to negative health impacts,
6 transportation is going to be a core focus of our energy
7 policy for I think a long time to come. I think we've --
8 we've made some important strides that we can -- that we
9 can build on, but there remains significant challenges
10 and barriers to fully realizing the potential of low
11 carbon fuel.

12 And the first, you know, we're obviously here
13 today to talk about electrification of transportation
14 which holds the promise of reducing GHG, but also at the
15 same time as our electricity grid is serviced by more and
16 more renewables, that generation source is cleaner and
17 the impact on all of us is reduced. But particularly in
18 disadvantaged communities that are primarily measured in
19 terms of the negative environmental impact on some of our
20 citizens that are most vulnerable to pollutants and
21 pollutant impact.

22 So if we can be successful in really overcoming
23 some of the challenges to electrification and grid
24 integration, we'll see local benefits as well as global
25 benefits from the leadership position that California can

1 establish.

2 So some of the -- some of the barriers you spent
3 yesterday thinking about what those -- what those
4 barriers are. You know, and I think one of the really
5 significant opportunities for this -- for this group
6 today and for the roadmap in general is to articulate
7 what -- what some of those solutions are. From
8 technology solutions from the innovators in the room and
9 more complicated are what aspects need to be standardized
10 and how do we think about interconnection so some of the
11 -- some additional values can be unlocked for both the
12 customer using an electric vehicle but also from the grid
13 operator who sees electric vehicles as a perfect
14 complement and an asset in the operation of the
15 transmission and distribution grid as opposed to an
16 unpredictable invisible load on the grid.

17 So I think we have some really exciting and
18 perfectly framed conversations this afternoon and the
19 panels that are structured. The first is on -- is on
20 customers. What do customers need and want and what are
21 the value streams that might speak to a customer? What
22 kind of software, communication and control, and
23 standardization is going to help provide the customer
24 with the right signals to charge at the times that are
25 one, going to be an asset to the grid, but two, are going

1 to provide a revenue stream to that driver and, you know,
2 make the cost effectiveness of electric transportation,
3 you know, more appealing?

4 And on the other side, provide visibility to --
5 to the grid operator. And so this -- this is an area
6 that really requires all of our thinking. I mean,
7 innovators can innovate a technology, but if you're
8 talking about interoperability that depends on price
9 signals, it depends on regulation, it depends on
10 innovation, and a sense of certainty for people who are
11 going to make investments, it really takes this kind of
12 partnership and brainstorming that we're having over
13 these two days.

14 So I'm looking forward to the panels and we'll
15 kick it back to Eli to introduce our next panel. Thanks
16 so much.

17 (Applause.)

18 MR. HARLAND: Okay, thanks, Lori. So I will --
19 we're going to do technology panel this morning first and
20 customer panel will be in the afternoon.

21 So I'm going to go over the schedule really fast
22 and the workshop objectives again quickly. But while I'm
23 doing that if we could have our first panel members join
24 us up at the table that would be great. Moderator Matt
25 Fung will lead the charge for you all.

1 And so -- so yesterday we went through the, you
2 know, we had the showcase update and we also went through
3 and did a couple of panels in the afternoon. Today we're
4 breaking this up so that we have the Technology Needs
5 Panel is going to be this morning and the Customer
6 Experience Panel will be this afternoon.

7 And then we'll close the workshop off with --
8 with a public comment opportunity. Similar to yesterday's
9 format, there's going to be plenty of time during each of
10 the panel discussions to engage the audience. So we'll
11 see how -- how many public comments we have. And then
12 we'll also hear closing remarks from each of the -- each
13 of the agencies and entities that are working on updating
14 the roadmaps. So we'll have closing remarks from the
15 California Air Resources Board, from the California
16 Public Utilities Commission, as well as from the
17 California ISO later on this afternoon.

18 So just a reminder that -- that the -- the
19 objective for the workshops are for both days is to
20 really uncover these -- the actions or the information
21 that staff would need to develop actions for overcoming
22 the issues and barriers that were laid out in the
23 original matrix. And I do encourage folks if you have a
24 specific action you'd like to articulate, that would be
25 really helpful. If it's not specific and you're just

1 providing us the information that we would need to
2 formulate those actions, that also works.

3 So with that, I want to pass it over to our first
4 panel. I'm going to pass it off to Matt.

5 And Matt, I'll begin queuing up the presentations
6 in the order of the agenda.

7 MR. FUNG: Thanks, Eli.

8 Again, my name's Matt Fung, I'm with the
9 California Energy Commission's Research and Development
10 Division. I focus mainly on vehicle-grid integration
11 through the EPIC program.

12 So I want to welcome everyone here today for the
13 second day of the VGI Roadmap Update Workshop and the
14 Technology Needs Panel.

15 I first want to spend a minute or two to set the
16 platform for this Technology Needs Panel. Yesterday we
17 discussed the policy and economic potential of VGI work.
18 Panels talked about importance of value, flexible rate
19 design, emerging business cases among other topics. And
20 today's technology panel will focus on what -- what are
21 the VGI enabling technology needs to create seamless
22 cyber secure and customer friendly transportation
23 solutions, and how can we address the technology barriers
24 preventing us from accelerating VGI to enable further
25 commercialization of zero- emissions vehicles and its

1 supporting infrastructure.

2 So through today's panel we'll discuss topics
3 such as how important low cost cyber secure measures are
4 to VGI, which charging use case will be most -- most
5 benefit from embedded metering, what standards and
6 methods of communication are needed for which use cases,
7 and how industry researchers and policymakers can advance
8 to name a few of the topics.

9 So during this morning's session, I'll ask that
10 we all keep in mind that we're not just limited to light-
11 duty vehicles but to also consider those barriers,
12 solutions, and actions that impact other sectors such as
13 medium, heavy-duty -- or within the medium, heavy-duty
14 sectors as well.

15 So first we'll -- Josh Eichman is first up on the
16 agenda, but.

17 MR. HARLAND: Is -- is Josh -- Josh present? No,
18 don't see him, but. So we'll go through the
19 presentations and maybe we'll get Josh towards the end of
20 that.

21 MR. FUNG: Okay. So we'll move on to Ken Rohde.

22 MR. ROHDE: Good morning.

23 MR. HARLAND: And Ken, you also have the -- I
24 also gave you the presentation navigator there.

25 MR. ROHDE: Power, you gave me the power.

1 Excellent.

2 Well, while the presentation is being pulled up,
3 I'll just briefly introduce myself. My name is Ken Rohde
4 and I work at the Idaho National Laboratory. I've been
5 there for almost 20 years now. But I've been working
6 specifically in the Cyber Security Research and
7 Development Department since 2004 and that's where we've
8 been specifically charged with doing cyber research on
9 the critical infrastructure sectors in the United States
10 and worldwide, actually.

11 But my official title is senior cyber security
12 researcher which I guess is as nice of a way as the
13 National Lab can say I'm an old computer hacker. But
14 that's essentially what it is.

15 And so the presentation that I brought today is a
16 collection of slides from -- from some of the work that
17 we've done over the last few months, specifically with DC
18 fast-charging system that we have. This is the beginning
19 into work that we are just getting started and are going
20 to be carrying on for the next three years, moving into
21 extreme fast charging. So this is -- this is a 50
22 kilowatt station that we're going to be showing you
23 specifically, but a lot of the work that we did here will
24 translate into the 350 kilowatts, 1 megawatt high-power
25 stuff that's in tomorrow's -- tomorrow's research.

1 So here's a horrible little block diagram that
2 shows how our 50 kilowatt station is laid out and we
3 envision most of them being produced in the future and
4 today. And specifically you'll notice that there's a
5 whole myriad of communication protocols that can
6 potentially be coming in and out of the device in order
7 to support a lot of the functionality. But then inside
8 of the DC fast charger, there are power electronics that
9 are used for converting the AC to DC power and that's
10 specifically what we target in this research. So keep
11 that block diagram in mind.

12 With all that communications coming in, there's
13 one component in there that is specifically responsible
14 for all those communications, and that's what we targeted
15 was that communications module.

16 So the reason -- and let me give you some
17 background here. So the reason that we did the test --
18 this test the way that we did was we are operating under
19 the assumption that -- that utilizing some remote
20 connectivity means we're going to be able to compromise
21 this charging station, okay, whether it's OpenADR that we
22 target or 15118s or whatever. Pick your protocol or your
23 remote communications mechanism.

24 The problem in this particular case and in a lot
25 of cases we're assuming is that communications module is

1 going to have influence in the system that is beyond what
2 we think it really needs to be. And that might be a
3 confusing statement but what I mean is, is that
4 communications module is not segmented away from those
5 critical power electronics components that are in the
6 charging system.

7 So if I can compromise that communications module
8 using some form of exploitation, then I have a means in
9 which to influence the power electronics that are also in
10 that charging station. And in the future, I might be
11 able to influence the cooling components of the system or
12 whatever the case might be. So that's the method in
13 which we did stuff.

14 There we go. Okay. So assuming that we had that
15 communications module compromise, what we did was we
16 played around with the system enough, did enough reverse
17 engineering of it in order to understand how those power
18 electronics were being managed in the system. This
19 system has five big power converter modules, each of them
20 operate at 10 kilowatts for a total of 50 kilowatts. And
21 there's some handoff and coordination that goes off
22 between these electronics and that's what we're
23 manipulating with in this particular graph.

24 So we started actually directly controlling the
25 power electronics in such a way as to try to force them

1 into a lower state of power in order to influence the
2 total harmonic distortion and also the power -- power
3 factor, power quality of the overall charging station.

4 And this graph was generated when we were
5 operating at a -- in a way that was as nice as we could
6 do it. And what we found was it was the vehicle that was
7 more often than not that was disconnecting and shutting
8 off the charging session. The charging station was happy
9 as far as we could tell when we were controlling it and
10 causing -- causing it to do bad things. But it was the
11 vehicle that would give up after a while and disconnect
12 itself.

13 And so this is -- anyway, so we could create THD
14 and power factor levels that were worse than this but the
15 charge would only terminate after 30 or 40 seconds
16 instead of running continuously over the whole duration
17 of the charge. So that was one of the major things that
18 we were able to accomplish.

19 And what we're still waiting to see is the kind
20 of the so what? We have an RTDF system available to us
21 at the lab that is actually modeling a portion of the
22 PG&E grid. The trick is getting access to that RTDF
23 system is difficult. So we might end up modeling this on
24 a portion of the grid there to see. But if not, if one
25 of you utilities that has a model of your own that would

1 like to do this, please see me and we'll send some data
2 your way and get you an idea of what's going on. So but
3 we don't know. So what we don't know is what is the
4 overall effect to the grid in that particular case?

5 The next thing we did was the system provides --
6 ours has a great big red emergency stop button on the
7 front of it which I guess is a safety requirement for
8 most of these systems so that if your car is on fire or
9 something, I don't know. If somebody runs up and punches
10 the emergency stop button and -- but that sort of
11 capability is also available to us electronically which
12 was cool. So we found the messages that were responsible
13 for telling the system to just shut off, immediately shut
14 off. And you can see from the graph what we can cause is
15 to go from a full 50 kilowatt load down to standby power
16 in a very short period of time which if you calculate it
17 out, that's about 2.6 megawatts a second which is
18 relatively fast.

19 So this might be more of a concern potentially.
20 But like I said, we're waiting for a utility company to
21 come and talk to us, tell us whether or not we're right
22 or wrong in our assumptions.

23 But one of the things that we envision is like
24 with the EV -- or the Electrify America types of
25 deployments of these stations where you're going to have

1 six or eight or ten of these 350 kilowatt stations in one
2 place, if I can do this over a cyber means and wait for
3 six or eight or ten of those stations to be charging at
4 full load and I can remotely tell them all to turn off at
5 the same time, that's a pretty significant transient so
6 that's something that we're kind of curious about.

7 Can't not talk -- not -- I've got to say the notes
8 right. Can't not not talk about wireless power transfer
9 as well because this is an area of research for us. This
10 is exciting because wireless power transfers getting to
11 be at higher and higher charge rates nowadays. We're
12 seeing medium, heavy-duty vehicles being charged today
13 clear up to 250 kilowatts over an inductive set of
14 charging coils.

15 This is an interesting area for us to be looking
16 at because we're wondering how many of these things that
17 I just showed you on the conductive charger might be
18 possible with -- or even worse with a wireless power
19 transfer. It's a -- to me, it's a more complex situation
20 and yet it's fantastic because all of these
21 communications or a lot of these communications are now
22 happening wirelessly. So can we disrupt and cause the
23 similar -- similar effects on the system with that. Kind
24 of fun.

25 Noel asked me to talk specifically about this

1 because Noel saw these slides at the Evian grid -- was it
2 Evian grid or which presentation?

3 MR. CRISOSTOMO: I just read a lot.

4 MR. ROHDE: Okay. You just read a lot. All
5 right.

6 But this diagnostic security module is a DOE
7 project that we started a few years ago. This was under
8 the grid modernization laboratory consortium where
9 they're trying to do a number of things to modernize
10 today's grid. And one of the topics that the vehicle
11 technology's office and DOE specifically asked for was
12 for us to talk about security with electric vehicles to
13 building integration.

14 So if you have a large building and a small fleet
15 of vehicles that are electrically charging connected to
16 the same power sources as that building, what kinds of
17 things can we do and can we help to prevent it? So this
18 project is specifically enhancing the vehicle, the
19 charging station, and the building energy management
20 system so that we can monitor all three components for
21 quote, unquote "cyber events" and then report that to the
22 building operator, the person who has control over the
23 power being delivered to those charging stations and
24 ultimately to the vehicle.

25 So you can see kind of some highlights in the

1 over -- overall view of how that works. Now this -- this
2 project was not intended to be product, this was intended
3 to be a showcase to show the automakers and the EVSE
4 manufacturers and everybody how -- how this security
5 information can be exchanged. We're hoping that this
6 will be picked up and adopted in future standards and
7 whatever the case might be. We're not planning on
8 selling this as a product. So. That, we're actually
9 going to take to the cyber auto challenge next year.
10 We're going to let all the hackers at the cyber auto
11 challenge try to pick on it and we'll see -- see how well
12 they do.

13 So this is my last slide. So just a reminder.
14 So what we're currently looking at in today's research is
15 the high-power charging and that's specifically and most
16 likely going to be targeting the medium and heavy-duty
17 vehicles in the near future. We're working with both
18 CharIN and also the NMFTA for helping to develop security
19 requirements for how -- how this charging is going to be
20 done. I think that's very, very good work. I think the
21 trick is going to be developing a set of requirements,
22 it's not going to be too daunting for everybody to be
23 able to apply. And then the wireless or inductive
24 charging as well.

25 I think that's all I have for slides. So thank

1 you.

2 (Applause.)

3 MR. FUNG: Great. Thank you, Ken.

4 So I think Josh is here so we can -- Josh is here
5 and we can go to his presentation.

6 MR. EICHMAN: Thanks. I apologize for the
7 tardiness.

8 Thanks, Ken, for stepping up to take over while I
9 was out. But I'm here now.

10 So I'm from NREL, the National Renewable Energy
11 Laboratory. And my name is Josh Eichman, I'm a senior
12 research engineer there in their transportation group.
13 So the facility is in Golden, I'm actually based out here
14 in California.

15 We've been doing a lot of work in the space for
16 both monitoring vehicles, collecting data, determining
17 how these vehicles operate in today's and future
18 scenarios looking at infrastructure, and a number of
19 different topics. But what I want to focus on today is
20 really just two areas. And the first being data
21 availability and its application, particularly as that
22 relates to the VGI space. And then the second is kind of
23 what I'm calling kind of the modeling environment or
24 ecosystem.

25 Just one slide so this is all you have to look at

1 for me today. But again I think -- so with respect to,
2 you know, the common question is well, how do vehicles
3 affect the grid? How could they? We think manage
4 charging kind of an uncontrolled charging. These are the
5 words that people are stirring around. But I think it
6 goes back a lot further than just that question. There's
7 decisions that are made a long time before that that
8 affect those results. So I thought I'd walk through at
9 least in our perspective how that chain connects together
10 and some of the important features along the way that you
11 have to -- you have to make these decisions, again, on
12 the technology space for both the vehicles and the
13 charging infrastructure that then affect kind of the
14 broader question of how vehicles affect the grid.

15 So we just walk through kind of from left to
16 right on the slide that you see here. There's I think it
17 really starts with this vehicle choice, and of course
18 there's different versions for different people. But in
19 the vehicle choice modeling space, there's decisions that
20 are made by customers and by OEMs and integrators as well
21 about the size of these vehicles, the types and
22 preferences. So we take in all these customer
23 preferences and some of the regional variability and then
24 we get out information about what kind of vehicles are
25 people interested in, what are the resulting sales for

1 those vehicles.

2 So then we can carry that to our next step so now
3 we have these, you know, decisions about electric
4 vehicles, are people picking them or are they not and
5 why? And then so that feeds into the vehicle simulation
6 step. So there's a lot of activity going on here, again,
7 in terms of the data and data availability. All that
8 data has to be collected from all the different vehicles
9 we use existing but we also use some model data coming.

10 And then you take information about kind of the
11 technical performance that you expect from those
12 vehicles. What's the motor map? Like an electric motor
13 map. And then the duty cycles for those vehicles. How
14 are they driving? If it's a medium, heavy-duty fleet
15 vehicle, it's much different than a residential vehicle
16 or a light-duty vehicle.

17 And then we can take that information to
18 determine kind of what's the efficiency of that vehicle
19 and the resulting electricity demand. And you can see
20 down at the bottom there's a few different examples of
21 models. I think most of those are NREL but just to give
22 you a sense for like the real breadth that goes into
23 these activities.

24 Okay. So now if we have this, you know, we know
25 the electricity demand, the efficiency of these vehicles

1 that customers would prefer and customers have chosen.

2 And then now we move into maybe the more familiar

3 territory, it's infrastructure rollout modeling.

4 So with that, we'd take, you know, additional

5 datasets on travel surveys where there's GPS data and

6 then also what are the opportunities for charging? Level

7 1, Level 2, DC -- what are the -- what are things that

8 you have options of and the power think about extreme

9 fast charging versus Level 1.

10 And so we can take that information. There's a

11 number of different models, again, that then give us

12 where should this infrastructure be? When are vehicles

13 going to be there? And how much of a charge do they

14 need?

15 And then that's really what I think we need to

16 get into the VGI space to understand what kind of

17 flexibility those vehicles are going to have. If they're

18 very inflexible, then we're not going to be able to help

19 the grid at all, consider it uncontrolled charging. If

20 they are flexible, then we can do more smart charging.

21 So then the final step and the one that I think

22 is the immediate question, now we move into some of the -

23 - what are the grid impacts? And looking at the box on

24 the far right, I have it kind of separated into these two

25 groups. Obviously both of these are transmission and

1 distribution level so it can be the higher voltage grid
2 or the lower voltage grid.

3 But there's planning that needs to be done and
4 then operations. So when you have planning, think more
5 of the 20, maybe even 50-year time period. How many
6 vehicles are getting rolled out? And are we building new
7 generation to meet that? Can renewables do it? Do we
8 need new storage, for instance, to support that? So
9 those are the kind of the questions that it answers in
10 terms of the operation space.

11 Then it's, you know, the day to day, hour to hour type
12 thing. And then you think, okay, now we can get down to
13 the details of smart charging. So that's the tools you
14 can answer smart charging with.

15 And then the final, the customer optimization is
16 what I'm calling it. There's probably other names but
17 this idea that, you know, each customer wants to get the
18 lowest cost of electricity and -- or get the most revenue
19 out of it. So you can think customer being home -- like,
20 someone has a home and charge it at their home or
21 multiunit dwelling and have to find some place to charge.
22 How do they get the lowest cost to operate their vehicle?
23 You can also think a fleet manager, in the case of some
24 medium and heavy-duty vehicles. However we have, you
25 know, a collection of vehicles and they're very

1 interested in reducing that cost and very motivated.

2 And then you also have the infrastructure owner.

3 So if you have like a DC fast charger, you have to figure
4 out what your pay structure is for that, how do you
5 recoup the investment that you've made? So that class
6 and models can look at that, kind of a business case
7 assessment for any of those groups. And what we have
8 going into that are things like the retail rates and then
9 have the grid set up with the grid mixture, any
10 incentives and credits like low carbon fuel standard, for
11 instance.

12 And then outcome. Then finally we get to the,
13 you know, grid impacts. And that can be a, you know,
14 very high renewable penetrations. So we can look at
15 basically any future scenario that you would want with
16 very high renewable penetration.

17 So if they for this entire chain, again the --
18 just to reiterate the point that I like to make is that,
19 you know, we ask about the questions at the end but
20 there's a lot of decisions that have been made throughout
21 this chain to -- that build up to the final answer that
22 we're looking for. So if you change the range from, you
23 know, a 60-mile vehicle to a 1,000-mile vehicle, we're
24 asking much different questions at that point. So that's
25 why I think it's important to keep in mind all of the

1 steps leading up to that final step about what a smart
2 charging provide? Well, what kind of vehicles do you
3 have? What kind of charging?

4 And then to add on top of that, you can see some
5 of those boxes in the upper right. I think that each
6 step in this chain, we have to also look at what are the
7 impacts potentially from policy. You can see also
8 there's different vehicle classes, charging strategies,
9 how autonomy affect each of these steps. Because it can
10 radically change how that step is modeled which affects
11 everything downstream.

12 And lastly, cyber security. Now we're more aware
13 of that from NSTOC. So. And then I think the other
14 thing I'd like to add is from the data perspective, the
15 results are only as good as the data that we put in. So
16 for -- if we're looking to either look at what policies
17 and what research can be done, there's a need for data
18 there. And I think in the light-duty space, there's more
19 knowledge with respect to we have these travel surveys
20 and there's a lot of information that's done there to
21 kind of statistically represent the vehicles that we have
22 which then helps us look at future vehicles in the medium
23 and heavy-duty space that's much limited -- much more
24 limited datasets.

25 But some of you may be familiar with Fleet DNA,

1 it's hosted out of NREL and collects mostly duty cycles
2 which aren't full travel surveys, but just the duty
3 cycles like a daily operation for a few vehicles within a
4 fleet. There's no way to tell that this fleet is
5 representative of the entire -- the entire California
6 fleet, for instance, it's just, you know, this small set
7 of vehicles.

8 So I think there's -- there's still need to
9 continue developing those. Any of these projects that
10 people interface and do this data monitoring, I think
11 data sharing is really important and it can improve all
12 the steps along this chain to get us to a better
13 solution.

14 So I think I'll end there. And thanks for your
15 attention.

16 (Applause.)

17 MR. FUNG: Thanks, Josh.

18 Now we'll move on to Celia Dayagi, I hope I
19 pronounced the last -- that was correct. From Siemens.

20 MS. DAYAGI: Is that better? All right.

21 MR. FUNG: You kind of have to --

22 MS. DAYAGI: Is that better? Oh, I --

23 MR. FUNG: Yeah, speak like right into there.

24 MS. DAYAGI: Yes, you did pronounce that right.

25 Celia Dayagi from Siemens. Good morning.

1 Thank you, first of all, for having us here.
2 Very excited to be here. Very excited about everything
3 that's going on. I don't know that I'm going to be able
4 to move my slides forward, I think they're only in PDF.

5 MR. HARLAND: Do you want to try it?

6 MS. DAYAGI: Maybe.

7 MR. HARLAND: All right.

8 MS. DAYAGI: Excellent. Good. So, yes, to --
9 the data information I'll share just for starters are a
10 couple of the observations that we have had at Siemens in
11 global eMobility. We've also been a part of the Hubject
12 communications protocol working group for quite some
13 time, excited to be a part of this process.

14 Globally, Siemens has employed over 130,000
15 installations for eMobility so we bring some of the
16 lessons here today from that but also of course are
17 continuing to learn and continuing to evolve with
18 everything that is going on here and across the globe.

19 The -- just like Josh was -- no. So as Siemens a
20 lot of our customers are the utilities, a lot of our
21 partners are the utility companies. We're not only
22 looking at charging an electrical vehicles from the
23 charger perspective and all the functionalities that a
24 charger may have and pretty lights and whatnot, we're
25 more so looking at it in a partnership with the power

1 companies that are globally our partners and are
2 considering the grid infrastructure from distribution
3 transmission planning but also the medium voltage and low
4 voltage space. We're very much working with our partners
5 also on the large undertaking that comes along in
6 construction projects of making charging possible all
7 across the globe.

8 So here's just a couple of the components that we
9 work with our customers on in order to really drive
10 eMobility forward in the adoption of. Our goal is always
11 to -- and I'll talk about this later on. As well as the
12 presentation, our goal is always to foster, of course
13 enable open standards, best practices across the --
14 across the industry.

15 And then lastly, but certainly not least, to
16 drive down a total cost of ownership for everybody to be
17 able to own an electrical vehicle, operate it, and plan
18 it to the grid.

19 Now just like Josh was talking about, there's
20 also a couple of trends that we follow very closely that
21 we've seen that definitely will factor into not just
22 eMobility but mobility in a greater sense. So on a macro
23 scale, we definitely are following connected mobility
24 that's not just the eMobility and all the data that we're
25 getting from the chargers, but certainly also from the

1 cars and from the OEMs themselves. We're seeing a lot
2 more autonomous, a lot more shared, and then most
3 importantly I think for everyone here the disruption in
4 transportation as well as the disruption in energy,
5 really what they have at the core and what they share is
6 the electrification of the transportation sector.

7 So we're viewing that as the intersection of all
8 of those global macro trends really coming together but
9 electricity and the electrification of is really in the
10 middle of it for us which is very exciting.

11 So for -- for specific topics for today, I think
12 an open standards, again, that's what we support as
13 Siemens but the -- the way forward for us and I think
14 that's why we're all here is to define the best practices
15 that should really be required across this industry and
16 across this move towards eMobility.

17 I will show a little bit more detail about the
18 different applications in which these open standards
19 really or these best practices come to life. But just as
20 a general overview, they should definitely include the
21 communications from a data center to the EVSE. A lot of
22 the touch points and cross points that you will see not
23 just in this slide but also the pictures in the further
24 slides are between the data center so really the
25 utilities, the vehicles, and the EVSEs. The EV and EVSE

1 also need to be able to communicate, that should be a
2 standard but is put in place there. And I think all of
3 us have a pretty good understanding of what we would like
4 for that to be.

5 And then lastly where I think we have had a lot
6 of good -- a lot of experience, good and bad, is in the
7 metering and the metering accuracy. So a couple of the
8 points that I'll touch on later will also be about the
9 submetering for EVSEs and what benefits that brings but
10 also what challenges come along with that that we've seen
11 in the marketplace today.

12 For the home application, the multiuse
13 development application, and workplace charging, a lot of
14 lines here. But first of all, let's consolidate the
15 lines at the top with the clouds where you see one and
16 two, really we would like to consolidate all of those
17 lines, just say the utility data center and whatever EVSP
18 is really involved in the network of charging should be
19 able to communicate on open standards here whatever
20 they're using, whether it's broadband or cellular. But
21 this communication link needs to be established for sure.

22 And then in the bottom, the other places where
23 standards really are -- are needed and also needed for
24 looking forward to a VGI would be between the EV and the
25 EVSE as well as the communication between whatever

1 networking infrastructure is located at the point of
2 charge, and the back end of whatever is managing that
3 charging asset.

4 So here those are really the main -- are there
5 four? The main three areas where standards need to be
6 considered and the standards that we really want to talk
7 about.

8 For those obligations, then if we move into more
9 of the public charging space, we're really just adding
10 credit card standards as well as the roaming standards
11 OCPI or OICP so that networks can also communicate across
12 different territories or networks for that matter.

13 So those, again, are the main standards where we
14 think -- or the main areas where we think standards
15 really should be present and should be followed by -- by
16 the industry.

17 The challenges and opportunities in embedded
18 metering, so moving into more of the submetering
19 category. I think you guys are aware of the broader
20 Siemens metering and submetering portfolio that we have
21 for commercial and industrial applications. We've also
22 adopted that submetering technology into our EVSE
23 product. And therefore in the EV or eMobility market, we
24 carry some of the lessons over from what we've done in
25 the past in the broader commercial, industrial, and

1 utility space, but are also looking at the eMobility
2 space there, particularly because it is a nation industry
3 and there are some basic things that we all should agree
4 on.

5 For this picture -- oh, I'm changing my own slide
6 and not yours. Sorry. So for -- again, we're not moving
7 into submetering category of the discussion. There's
8 benefits, there's challenges, challenges especially of
9 embedded metering inside the EVSE. And here's where I
10 also talked about greater embedded metering technology
11 that Siemens is developed not just for EVSEs but for
12 other applications.

13 So the main, I guess, use cases or benefits that
14 really we see in the embedded metering for an EVSE would
15 be one, that it allows the tariffs or rates to be applied
16 really strictly to the EV charging only. The second one
17 would be that it does provide -- embedded metering does
18 provide the data collection of an individual user, some
19 people that are interested in the information of the
20 energy consumption just by that EVSE in particular.

21 And then lastly, we think where the submetering
22 or embedded submetering use cases more -- most beneficial
23 would be that it does eliminate the utility meter that
24 would otherwise have to be collocated whether that is
25 installed with the EVSE itself or installed within a

1 switchboard or panel board or wherever you are embedding
2 that meter into the EVSE and you're testing it for
3 accuracy will get there. And the challenges, there's a
4 big cost savings for the eMobility markets and the growth
5 there.

6 Still not used to it. So now for some of the
7 challenges, while I just went through the use cases and
8 the benefits, there really are good benefits in
9 submetering or embedded submetering. But the challenges
10 and we've had some personal experience with this as well
11 really are in the meter accuracy. We do think that the
12 HB44 that you guys referenced specifically for this panel
13 does provide a good starting point and for the accuracy
14 standards and testing what it requires of manufacturers
15 is adequate and is fine. But really it doesn't go into
16 the communications or data integration requirements for
17 communications.

18 It's easy to do but there are significant costs
19 either in development in the actual EVSE technology or in
20 the networking equipment that is then required in order
21 for an EVSE really to communicate out this information
22 and is the protocol through which it's communicating
23 really standardized or not.

24 Then the biggest issue really is in the data
25 integration for submetering. That to us is the format in

1 which it's transmitted. It is the back end to which it
2 is transmitted and then what format it needs to be
3 transmitted. It's the frequency, it's all of the really
4 factors that come along with the data integration piece
5 of this. So it's -- do they not clean an industry and
6 therefore maybe submetering -- submetering is not yet set
7 up for really the big growth. But to get to a point of
8 the state of being reliable and accurate and collected
9 that the frequency which is appropriate for the market,
10 we do definitely support submetering within the EVSE
11 itself and are looking forward of getting rid of some of
12 these challenges and technology and also challenges in
13 cost.

14 I think that's pretty much it. Yeah. So for the
15 discussion today, definitely looking forward to some
16 questions and all of the perspectives of the other
17 panelists.

18 (Applause.)

19 MR. FUNG: Thank you, Celia.

20 And we'll go to Jackie Piero from Nuvve.

21 MS. PIERO: Okay. So what I (indiscernible).

22 MR. FUNG: Thanks, Jackie.

23 MS. PIERO: I generally talk loudly enough that I
24 don't need microphones but I'll definitely use it today.

25 So I am here as the policy director of Nuvve.

1 And we're also here to present an industry perspective on
2 the goings on in the VGI roadmap as a company that is
3 pushing VGG. We also work with unidirectional smart
4 charging, the -- can work with various DER, but we're
5 really interested in cars. We're really interested in
6 figuring out how to fully integrate them into the grid,
7 and we think that bidirectional power flow is a very
8 important piece of that.

9 But who are we? We are a startup, we're based in
10 San Diego, but we are global. We have 30 people, 30-odd
11 people, but we're actually operating globally. And it's
12 partly because our main product is software platform, and
13 so we're able to work wherever the resources actually
14 exist. And this global experience has actually given us
15 a unique perspective on what V2G actually is and on the
16 fact that you really can't separate VGG or VGI from DERs.

17 The story of the two in terms of how they're
18 actually being integrated into energy systems around the
19 world is very closely linked. For instance, when we
20 actually were doing an experiment in the Netherlands, we
21 aggregated 13,000 unidirectional public chargers to
22 participate in tenants' frequency regulation market. But
23 it took 13,000 vehicles to bid a few hundred kilowatts
24 because we had to hold that capacity for a week. And
25 this was not just a car problem, this is a DER issue.

1 The market wasn't designed for very small scale
2 aggregations of DERs to be participating in it.

3 In the UK, they're very, very aggressive about EV
4 introduction, they're very aggressive about introducing
5 flexibility to their grid, partly because they have to
6 be. They're experiencing voltage spikes, they're
7 experiencing loss of inertia and other grid problems that
8 are only theoretical in other places. So it's absolutely
9 necessary that they successfully integrate EVs into their
10 grid.

11 They want millions of EVs just like California,
12 but they've done their studies and realize that it will
13 be billions in grid upgrades if they don't figure out how
14 to intelligently integrate EVs into their grid. And V2G
15 is a huge part of that.

16 That said, and they're very interested in storage
17 as well. They're actually trying to remove barriers for
18 storage to be working in markets. But behind the meter
19 storage really can't exist in the UK in a lot of ways
20 because they haven't figured out how to tax it. They
21 simply say look, we can't separate the final consumption
22 taxes from the actual usage of the home, so there's a
23 regulatory black hole around storage and around an EV
24 that would be providing services from behind a meter
25 there. As badly as they want it, they're systemic

1 walkers.

2 And that brings us to California and some of the
3 experiences that we're having here. We're -- one of the
4 things that we've noticed as we've been participating in
5 frequency regulation markets in PJM, in the Netherlands,
6 in Denmark, we've been operating commercially in Denmark
7 for the last two years. Working from behind meters and
8 actually bidding into frequency regulation market. We've
9 really come to understand the problems of use cases of
10 working from behind a meter in response to external price
11 signals.

12 And we're also realizing that there are many
13 other ways to use the EV so at UCSD with CEC funding,
14 actually, we are trying to figure out how best to
15 integrate EVs with solar, how best to integrate it with a
16 micro grid. How best to actually provide the services
17 that will be associated with the requirements of
18 interconnecting a bidirectional EV in California.

19 So I actually have this not to explain to this
20 room what vehicle to grid is, I think everyone here
21 understands the concept. I have this to show how
22 hilariously simplified this diagram is. It's supposed to
23 be simply that you are responding to a price signal or a
24 request from some other kind of grid actor and you either
25 have avoided cost value stream or a revenue stream. In

1 reality, we are working at the intersection
2 (indiscernible) of multiple industries that have never
3 been tightly associated before. Got the auto industry,
4 got the electric industry.

5 You've also got the tech, the information
6 industry. You've got financial actors that are actually
7 working in ways that they've never worked before. And
8 these -- these actors not only aren't used to working
9 together, they don't know how to work together. They
10 don't even speak the same language. I mean, automakers
11 speak in miles and gallons. And electric industry actors
12 speak in kilowatts and kilowatt hours. Tech speaks in
13 bytes. Banks speak in money. And they're all saying
14 okay, well, we see what our part is here so come about
15 30, 40 percent of the way.

16 But there's an area that is no one's job. There
17 is an area that no one knows how to come to actually take
18 on these new roles that they want to be working at. But
19 they're not used to doing this, then there needs to be a
20 translator. There needs to be something to unite these
21 different actors and that is what this technology is
22 about. It is about integrating the vehicles with all
23 these other actors, all these other industries.

24 When we talk about vehicle-grid integration, it's
25 not just the grid that we're integrating it to. And so

1 it's a much larger project when you start to think about
2 actually going bidirectional and really figuring out how
3 to monetize it.

4 Our platform is fairly simple in many ways. It's
5 simply a matter of dynamically assessing the capacity
6 that any aggregation has by every few seconds pinging
7 every resource we have and asking what kind of car is
8 parked there? What kind of battery does it have? What's
9 the connection? Is it allowed to export? And actually
10 assessing that along with every other resource we have.
11 And being able to then take what appears to be a highly
12 dynamic unreliable resource and rendering it -- rendering
13 it reliable, predictable, dispatchable, which is what you
14 have to have for the electric grid.

15 And I think it's interesting to step back. You
16 know, a few people have talked about this study, about
17 the actual potential in terms of resource size for V2G,
18 V1G, and stationary storage when it comes to actually
19 dealing with California's duck curve problem. There's
20 nine times the potential value of V1G that you see with
21 V2G when it comes to addressing the duck curve.

22 But to take a step further back, I would note
23 that I think we still have less than 400,000 EVs in
24 California. We're shooting for 5 million and that is an
25 admirable and ambitious goal. But we have so far to go

1 between where we are and this, no matter how -- what
2 combination of resources end up actually addressing the
3 duck curve. This is such a long road and the Honda
4 roadmap showed what all the twists and turns could be
5 getting there.

6 None of us has a crystal ball and I think that we
7 need to acknowledge how much could change between where
8 we are now and where we want to try to get to. And we
9 need to leave placeholders. We need to not try to make
10 decisions that will push us there but rather, I think,
11 leave as many opportunities as possible for us to get
12 there.

13 An example of a placeholder that probably made no
14 sense at the time but is actually enabling work to be
15 done is in England. In their grid code, there's a very
16 obscure little reference that says that -- it's a complex
17 metering arrangement allowance that actually was put as a
18 placeholder years and years ago so that peer to peer
19 operations would one day be allowed. There was no reason
20 to have this in the grid code when it was put there.
21 There was no technology that was even being thought of
22 that would actually be useful at the time when they put
23 that there. But they put that there so that someday
24 someone would have a chance to try something.

25 Try something like this where we've got DC

1 interconnections, AC interconnections of electric
2 vehicles. A DC electric vehicle can be interconnected
3 under UL 1741. It should be interconnected under UL
4 1741, but it's actually very confusing for a utility
5 because they have no signposts, they have no procedural
6 pathways, they have no regulatory guidance on how to do
7 this.

8 An AC interconnection is in fact impossible right
9 now for the very same reason. And we're not asking for
10 utilities to be mandated to do something, we're simply
11 asking for them to be allowed to do something. Give them
12 the capability to explore because right now they don't
13 have it and it's actually making it very difficult to
14 take these steps.

15 We have, like I said, interconnectable inverters
16 in our charging stations, in cars like Hondas, actually,
17 experimenting with. These are inverters that meet Rule
18 21 requirements. They have four quadrant -- or they'll
19 have four quadrant capabilities. They will actually be
20 meeting smart inverter standards.

21 But what are we actually going to be able to do
22 with those? Well, right now, you know, the
23 (indiscernible) took a very good step in allowing EVSEs
24 to be submetered for load curtailments. But look at all
25 the other things if you think about the -- the entire

1 universe of capabilities that exist once you actually are
2 compliant with a smart inverter standard. Just being
3 able to do load curtailment with that inverter is a huge
4 waste of a resource. It's a huge waste of this.

5 If we're talking about vehicle-grid integration,
6 if we're talking about California's goals of climate
7 change mitigation of millions of EVs, of leading the
8 world in modernizing your grid, we have to actually say
9 this isn't just potential, all of these things need to
10 happen. We need to have those \$1.75 billion in V1G
11 potential fulfilled, and we need to have the \$15.4
12 billion in V2G fulfilled. We need every tool that we can
13 possibly access to make this happen.

14 If you read the climate change committee's last
15 report, they pretty much told us that it was impossible
16 to do this. We have to be overambitious, we have to try
17 to access every single resource we have. This is the kind
18 of thing that California excels at.

19 And so what I'm asking is that we don't
20 accidentally close doors just because we want to move
21 forward quickly. Which when we choose 15118, I get -- I
22 get it. I get the idea that governments want to give
23 regulatory certainty like I was asking for for utilities.
24 But in giving that certainty where we would be using a
25 standard that doesn't yet encompass the full range of

1 vehicle-grid integration goals, whether we think V2G is
2 something that is going to be a near term occurrence or
3 not, it is the goal. And so we need to leave the room
4 for it to -- we need leave the space for it to actually
5 enter. And 15118, people will tell you it's complete.
6 In my opinion, it is not complete. V2G is not an add-on,
7 it is an essential part of integration of EVs into the
8 grid. That should be the goal.

9 One last thing. We actually have a lot of
10 embedded meter use cases that we've lived through in
11 various countries. And one of the biggest just overall
12 matters is that a car, once you make it bidirectional,
13 once you put an inverter in it, is not just a car. It's
14 also a storage resource. But you have to be able to
15 count when that vehicle is an end use device when it's
16 driving and separate those energy flows from when it is
17 acting as a storage resource. That's essential for the
18 way that taxes are applied. It's essential for the
19 actual compensation that will receive for various smart
20 inverter functionalities that it actually has. And if
21 you can't separate those energy flows, you wash out a lot
22 of the actual potential that is sitting in that EV.

23 The electric system is all about counting things.
24 It's all about physical flows. We have to be able to
25 count and account for things that we're doing.

1 So a couple of recommendations. We absolutely
2 think that interoperability should be encouraged but we
3 don't want to prematurely mandate a communications
4 standard when the industry is still evolving. There are
5 various communications and plug standards, charging
6 standards, they're still being used. Think if in 2010 we
7 had mandated CCS, for instance. Its (indiscernible)
8 would not have come out and driven the industry forward
9 in California the way that they did. Allowing that
10 different standard to exist here kick-started the EV
11 industry in California.

12 We've got Tesla over here with their own charger.
13 If something else had been mandated, who knows exactly
14 how their rollout would have manifested? I don't know.
15 But I do know that the lack of a charging standard did
16 not hurt the EV industry in California, it allowed it to
17 begin.

18 So again moving beyond load curtailment for
19 EVSEs, we have to actually be allowed to count and be
20 compensated for when we're actually able to export beyond
21 a meter. I know that this is a huge ask. But this is
22 something that we need to actually be thinking about. If
23 you want prosumers, if you want active participants in
24 the grid. If you want the IOUs to be active managers of
25 their grid, we need to move beyond just looking at houses

1 as adjustable loads.

2 Also, again, we can't artificially separate EVs
3 from other types of resources in market structures and in
4 regulatory matters either, it needs to be recognized that
5 these are, again, DERs. The story of DERs cannot be
6 separate from the story of EVs. And we need clear
7 regulatory and procedural and documentary pathways for
8 interconnection of EVs.

9 I'm not being asked -- I'm not asking for a slice
10 of the pie, I'm not asking for a mandate, I'm just asking
11 to be able to plug one of these things in. Thank you.

12 (Applause.)

13 MR. FUNG: Great. Thank you, Jackie.

14 And then we'll now on to Sunil Chhaya from
15 Electric Power Research Institute.

16 MR. HARLAND: Sunil, real fast. Do you want the
17 PowerPoint version or the PDF that you submitted?

18 MR. CHHAYA: The PDF will be fine.

19 MR. HARLAND: Okay. Great.

20 MR. CHHAYA: I'm at Electric Power. This is out
21 of Palo Alto and I'm focused on grid integration related
22 work for over last 11 years working with the electric
23 industry, power industry, and also with the car
24 companies. My prior work involved working at General
25 Motors around and a part electrical vehicles and advanced

1 software engineering inside. So.

2 Over the last decade or so, we have extensively
3 looked at a wide range of use cases working directly with
4 the auto industry to look at how to put the grid
5 integrated technologies on the vehicles, vehicles being
6 the central node for information, for mobility, and also
7 for customer preferences. So this is the -- this has
8 been the focus and we have focused on all of the above
9 approach in terms of managing. So in fact, at the moment
10 right now we have multiple projects looking at the entire
11 gamut of vehicle grid integration and vehicle local and
12 generic working organization type projects underway at
13 the moment. So they stretch from 2016 all the way to
14 2022 time frame.

15 Looking at aggregated vehicle load demand
16 management in the form of for open vehicle grid
17 integration
18 platform. At least that's just the projects that I
19 manage or I'm a PI on. So this doesn't include
20 everything that EPRI does.

21 Vehicle to grid integration which is around on
22 vehicle I think Jacqueline just mentioned the work that
23 we were doing together with Nuvve and Kitu and Webasto as
24 well as Chrysler and Honda and -- at the UCSD campus that
25 just completed. And we have an ongoing effort with off

1 vehicle vehicle grid and implementation where we start
2 looking at vehicles as a part of the ecosystem for the
3 integrations.

4 So we are looking at EVs, EV storage in the local
5 facility-type situation. And moving beyond that, look at
6 building and micro grid integration of the electric
7 vehicles expanding out to virtual wide data and micro
8 grid project that we're just beginning with Gridscape
9 which has multiple IOUs, multiple locations, and multiple
10 DER assets that we're going to be looking at vehicle,
11 smart charging vehicle to grid portable -- transportable
12 storage and so forth in multiple implementations.

13 So focuses on looking at value, looking at use
14 cases, looking at how electric vehicles fit into the
15 broader grid management situation and also looking at
16 what is the best application of each of the standards and
17 how do they interoperate. So I think that as Jacqueline
18 just mentioned, you know, you cannot separate these
19 issues out. You cannot separate interoperability from
20 standard from applications to value to use cases. They
21 are to go all hand in hand. Because ultimately if they
22 do not deliver a seamless functionality regardless to
23 vehicle's location because state or customer references
24 and utilities desires, they do not deliver value, then
25 all of the effort is not really worth it. And it is

1 actually that I want to focus. I think Eric Carter was
2 talking about the value aspect of it. So.

3 And the last project we are just beginning right
4 now is the cyber security side for infrastructure that is
5 -- that's going to be expanded. I was just talking to
6 Lee. Lee at VTO last week, was talking about the -- this
7 effort being expanded to include Sandia, INL, Argonne,
8 NREL, as well as looking at multiple award of the same
9 for 1919 and we -- the idea is to collaborate and come up
10 with a broad set of technologies, standards, frameworks,
11 approaches, and also verifiable way to test equipment,
12 subsystems, and the entire systems. So that's where our
13 focus is going to be.

14 So what are we learn from vehicle-grid
15 integration what they've been doing over the last several
16 years. One is that the hierarchy -- you know, it's not
17 just vehicle and EVSE or vehicle and SS DMS. You have to
18 think about the end- to-end system which includes utility
19 or the ISO all the way down to the vehicle and the
20 customer. So we cannot simply look at one aspect, you
21 know, the four blind men problem we cannot have going
22 forward.

23 And I think that these things need to be designed
24 in or at least considered into the -- into any
25 requirement that they impose and they all need to be

1 driven by value.

2 Second thing is that the multiple batteries that
3 already exist for the information to flow from the grid
4 to the vehicle. These pathways would depend on where the
5 information decides and what is the most optimal way for
6 it to get there. Vehicles, for example, all of them
7 carry telematics systems, they carry 4G networks.
8 They're part of 4G, every vehicle has an IP address, for
9 example. You know, so one thing that you could do is to
10 utilize that channel for what it's worth to send them
11 information. The secure is direct and this is, you know,
12 always available in "iBandwidth." Well, I say always in
13 quotes because it's a cellular signal.

14 Second thing is that the control and management
15 of many charging with the vehicle to grid as Jacqueline
16 was just mentioning are different. One is somewhat of a
17 slow moving function a day ahead, an hour ahead. The
18 second one is responding to minute by minute, come by
19 second reality of a surrounding system. Depending on how
20 it is synthesized, you know. But for getting the maximum
21 value out of the vehicle to grid type systems, you would
22 need to implement it in a fast response-type scenarios.
23 Which means that the sensors and the management systems
24 need to reside as close to the point of interconnection.
25 An interconnection itself is again a topic of its own,

1 found quite a bit of it.

2 So and the second thing is that the standards are
3 necessary but not sufficient for that I was just for
4 mentioning for integrated system operation. And it's
5 just a starting point. You know, you need to look at
6 again, as a system as a whole and apply standards and a
7 fit as they provide value.

8 Cyber security, one of the questions that is
9 close to the group is cyber security. Back in I believe
10 six or seven years ago, I ran the energy policy act of -
11 wast enacted one of the charter for Department of
12 Commerce and the NIST was to clear the interoperability
13 roadmap for which EPRI led essentially and cleared the
14 first draft and it is in place.

15 The -- that was to go -- there's that, a roadmap
16 established what is called the Catalog of Smart Grid
17 Standards for cybersecurity. That is what is considered
18 the benchmark for the utility industry to follow. And a
19 standard that is not in the catalog of standard needs to
20 -- needs to be brought up to the level that is required
21 for it to be utility industry acceptable protocol.

22 And this is again already work in progress
23 because things static in technology space but this is the
24 guidelines. And the other thing is that you cannot
25 retrofit cyber security into the system, you have to

1 design the systems to have the cybersecurity in mind
2 upfront. You know, and the only way you find out is, you
3 know, looking at all middleman penetration system
4 production. And especially around customer private, you
5 know, unless you have valuable information laid out.

6 You know, EVSE, for example, you know, the
7 charging stations, public charging stations have not only
8 the grid related information flowing through, they also
9 have the customer references and information in direction
10 flowing through. They also have financial data. So
11 there are many ways that the old actors can cause issues
12 around multiple systems get in the vehicle side and so
13 forth. So it's a thing you need to look at together.

14 And CEC here can -- can definitely have an impact
15 in a forward direction through active emphasis on cyber
16 security as well as to provide some representation to the
17 ongoing about to be launched effort through DOE, NIST,
18 and multiple lab as well as the award is for 1919 that'll
19 be beginning this effort to comprehensively address the
20 EV infrastructure cyber security assessment and
21 implementation.

22 So this is just an outline, I'm not going to read
23 because I can't read and I'm sure you can't either. But
24 the point of this is that we are looking -- this is for
25 our own project, the EPRI project. The scope is to go

1 from requirements to design to assessment to
2 mainstreaming of the requirements now hopefully resulting
3 in a certification body as a stretch goal. But this
4 includes competence such as EVSE vehicles, XFC equipment
5 with integrated and ANL to look at subsystems in a
6 vehicle and charging . At NREL we are looking at the
7 comprehensive system integration where we look at
8 platforms, vehicles, networks, and EVSE, XFC, and
9 vehicles all back together.

10 And so one of the activity here that is going to
11 happen that is going to be of interest to all of you, an
12 invitation is what we are calling EV Infrastructure Cyber
13 Security Working Group. You can say that about three
14 times really fast.

15 So the -- but the idea is that this will be like
16 a -- like a steering or an information exchange body that
17 meets multiple times in a year and exchanges and receives
18 information from this -- from this activity that is
19 ongoing to provide insights and also take the learnings
20 back to the respective areas of expertise so that they
21 can implement that in a timely manner or use it as they
22 see fit.

23 Standards and methods of communications to
24 consider. How are we doing on time? So, again, as I was
25 saying value defines the use cases that defining the

1 requirements, technical and business. And essentially
2 the implementations that meet the requirements and also
3 the system, look near the system.

4 So open standards. Emphasis always on open
5 standards but we also realize that we don't live under a
6 rock, you know, so we -- we have to look at the world as
7 it exists not world as we would like it to be which means
8 that we have to have interoperability, that is the most
9 important part of the message I want to -- too many words
10 here.

11 The second thing is that verification is required
12 to decide, you know, how they -- how they interact, where
13 they provide value, where the missing links are, and how
14 would they map on to how we see the future evolving.
15 Which means one of two things. One is that you cannot
16 log downtime as Jacqueline was mentioning that was pretty
17 good. Was that we cannot lock ourselves into a
18 particular way of operating because we would be missing
19 out on opportunities we'd not do and see today. So
20 that's one thing.

21 And the second thing is that any standard that
22 you put -- have to -- you must have, must comply, abide
23 by certain basic principles, you know, which is they need
24 to be defined, they need to be fulfilling some values in
25 use cases and fulfilling, you know, enabling and not, you

1 know, and creating a size range of options that the
2 market can be created and also enabling future
3 development and implementations.

4 So I think that in that vein, you know, we held
5 an in effort to create I think as a part of the VGI
6 working group, it sells, you know, we can create certain
7 areas of design of experiments that would be verified to
8 a number of pilots. Because one of the things that is
9 missing here is, you know, is my opinion versus yours,
10 and we've done some -- a lot of technology development
11 but what is missing is at-scale implementation and
12 verification of basic knowledge that provide us datasets.
13 Data and that can be analyzed to see effectiveness of any
14 approaches one, A versus B. So I think that that is one
15 of the things that we wanted to carry forward.

16 I think that I would like to read also the
17 message we have been pushing forward which is that lack
18 of standards is not really a barrier to lack of progress
19 -- of making progress. The lack of clearly articulated
20 value is. And I think that that is where the datasets
21 will help to assess the value that is ready to help to
22 see the customers, utilities, OEMs, and equipment
23 providers working all together to figure out what is the
24 best way to extract that value seamlessly and at scale
25 without violating some of the things.

1 Embedded metering. Of course, you know, any
2 metering essentially is the essential ingredient for the
3 measurement and verification and any programs that will
4 require you to have, you know, trust but verify type
5 activities. You know, we are going to need metering in
6 the essential component. The question is where should it
7 decide, you know, where should it be? But I think it's
8 going to be required.

9 And -- and if the charging is to manage and the
10 discharging is to manage as well to the grid, and the
11 data to -- for predictive load impact analysis and so
12 forth and require you to have metering. I would go as
13 far to say that metering is fine but you would need to
14 also have a grid ultimately monitoring itself.

15 We have the SCADA which is monitoring the key
16 points on the distribution system but we do not have
17 anything downstream of that which is I think a big
18 missing link. The information is to be processed where
19 it exists in a time more fastest manner possible so that
20 most value can be extracted).

21 So that's a lot of -- lot to say in one sentence
22 but that's still the case. For as fast as responses
23 comes to you, we need to have monitoring available at the
24 end point so that this can be, you know, any
25 abnormalities or any variations can be affected. You

1 know, a good case in point is, you know, have excess
2 solar generation at the facility but a bunch of EVs in
3 our V2G project. But if you monitor the flow of energy
4 and define a power flow back and forth and the more meter
5 are at a point of common coupling. You can then decide
6 how to operate the loads locally to energy management
7 systems and that allows, you know, you can take care of
8 these.

9 So my point is always that if you can take care
10 of the local ducks, in a local duck curves then you will
11 have a less of an impact at a macro level, much easier to
12 fix. So.

13 That's a lot to say on that topic but it's just
14 big areas.

15

16 Analytical models. I think that data needs to be
17 used to first of all, analytical models can provide some
18 predictions as to where to look for and we've been doing
19 quite of bit of looking around the grid impact assessment
20 on electric vehicle loads. And also now the
21 implementation or indication and I think that -- that is
22 going to continue to how to be explored and expanded at
23 the distribution system level especially because that's
24 where all of the -- all of the craziness inside now.
25 Somewhat of an -- and not visibly for predictions to be

1 accurate and for management to be useful, you're going to
2 have to continue to expand these tools that that exists
3 for DERs to include EVs. It's been part of this here.

4 Around values -- around value assessment, around
5 planning, around implementation and distribution system
6 management. All of them. And that-- so the tools can
7 predict and provide datasets, provide some guidance as to
8 where to conduct the experiments and the experimental
9 data can provide them verification and policy systems.

10 And we have done quite a bit of work, continue to
11 work with universities and labs and we are happy to
12 provide additional guidance in that as well.

13 I believe that's the last slide. So thank you
14 very much.

15 (Applause.)

16 MR. FUNG: Thank you, Sunil.

17 And now we'll move on to Oleg Logvinov, Charging
18 Interface Initiative or CharIN.

19 MR. LOGVINOV: Good morning, everyone. I hope
20 you have enough coffee today to survive seven panelists
21 in a row, I know it's a challenge so I hope you're all
22 pumped up.

23 (Indiscernible. Audience member speaks.)

24 MR. LOGVINOV: Exactly.

25 MR. HARLAND: That is a good point, too, Oleg.

1 We'll be building a break in here in a little bit, I
2 think.

3 MR. LOGVINOV: So today present Charging
4 Interface Initiative which is a global association of
5 manufacturers, service providers, and basically all of
6 the links of the constituents building this market, but
7 this is my volunteer job. My day job actually is being
8 CEO and founder of a small company called IoTecha. We're
9 a startup enabling infrastructure providing components to
10 go into (indiscernible) chargers, cloud support,
11 everything it takes to essential build viable
12 infrastructure capable of doing all of those wonderful
13 things we talked about today.

14 But let's go back and talk about CharIN. I
15 titled my presentation despite the name of the panel
16 Fostering Global EV Adoption. Because I think this is a
17 conversations that we need to have. It's not really
18 about which technology we're going to use but how do we
19 foster adoption? How do we make it faster?

20 Let's take a look at where we are. If you look
21 at this chart, what we tried to compare is essentially
22 growth of the automotive industry when a combustion
23 engine was invented. And what it took to essentially
24 take it from early adoptive type of technology into
25 something that actually proliferates on a massive scale

1 and becomes a thing of every household eventually. And
2 what it took is an agreement on standards. How to fuel
3 those vehicles, how to get them on the road, how to get
4 them essentially being supported by an infrastructure
5 that is wildly available. We need to do the same for
6 electric vehicle. We need to develop the infrastructure
7 that is there that nobody has a concern.

8 And when I say infrastructure, doesn't mean just
9 high power charging. Infrastructure means how do we
10 integrate those vehicles into the buildings, into the
11 homes, into parking lot, at charge at work type of
12 application, destination charging. All of that is
13 absolutely viable components of the infrastructure. It's
14 not only enough to put high power charging on the street,
15 we need to think about all of those elements enabling
16 essentially and improving how we can use those electric
17 vehicles in our life.

18 So what is CharIN? What is CharIN's mission?
19 CharIN's mission is establishing combined charging system
20 as the global standard for EV charging. I actually
21 respectfully disagree with Jackie regarding whether we
22 need standards or not. We do need a standard. Perhaps
23 don't need to mandate it, but we do need a standard
24 because if you look back at the computer industry at the
25 very beginning, yes, there was a Mac and there was some

1 Ataris and whatever.

2 But really, if you look at the market explosions,
3 it happened when IBM PC clones were invented and ISA
4 architecture was created. So you can actually apply the
5 card from any manufacturer into any motherboard. All of
6 a sudden we started thinking market penetrations that
7 nobody even thought about and computers became completely
8 a component of our life, very accessible, very cost
9 effective, very inexpensive, in fact. That was enabled
10 by long distance holder standards based ecosystem. We
11 need to create the same for electric vehicles.

12 And CharIN's goal essentially is the same. We're
13 providing industry supports through various means to come
14 together and create this very dynamic but diverse
15 ecosystem that can provide charging for vehicles of all
16 kinds. We're talking about motorcycles, (indiscernible)
17 vehicles, buses, trucks, what have you.

18 Ken mentioned the beginning we just started a new
19 effort, not just charging up to 350 kilowatt but also
20 trying to define what is needed for heavy-duty commercial
21 vehicles. As an example, Class A trucks, how can you
22 deliver a megawatt plus level power to that type of
23 infrastructure?

24 But also consider a (indiscernible)
25 infrastructure that was compatible and interoperable was

1 already deployed after 350 kilowatt infrastructure.
2 That's very exciting. It means that even if somebody is
3 driving Class A truck across the country, there's a
4 possibility to stop at capable gas stations and park
5 through the conventional 350 kilowatt charger or maybe
6 even less. Maybe it takes longer time, but if an
7 emergency happens, you need power, you can find it.

8 That type of proliferation have also available,
9 always-on infrastructure that can be sourced by multiple
10 vendors, multiple service providers is the key to an
11 ecosystem, a possibility to deploy something on a massive
12 scale.

13 When CCS was conceived, which is by the way we're
14 talking about almost ten years ago, it was conceived to
15 support multitude of use cases with multitude of
16 implementation scenarios. CCS was addressing, number
17 one, secure implementations that allows a vehicle and a
18 charger to create a secure connection and exchange
19 information between the two of them in a very secure
20 fashion. I'm not going to dive into the details of
21 technology but if you're interested to know, please find
22 me later and I'll talk about this element for hours.
23 It's based upon communication technology called HomePlug
24 GreenPHY.

25 And by the way, I'm one of the inventors of this

1 technology in a galaxy far away many years ago. So I can
2 tell you a lot about how to work through what it does.
3 It was created to support essential additional services
4 leveraging. As an example, renewable energy leveraging
5 AC and DC power transfer with the same communication, the
6 same approach wireless power transfer, pantograph type of
7 approach, integration with the grid, and of course by
8 direction of power flow. Is it perfect? Nothing is
9 perfect. (Indiscernible) is evolving, (indiscernible)
10 will evolve. And I think was addition to 15118 that
11 exists today, you already see some very viable
12 implementation of bidirectional power transfer.

13 So CharIN is a global organization. CharIN today
14 is spread across pretty much all of the continents,
15 including North America, Europe, Asia. We have presence
16 in many, many places of the world. I represent CharIN
17 North America, I'm a spokesperson for CharIN North
18 America. Today we have 155 members and the organization
19 is growing. And by the way, it's important to note that
20 their invasion as an alliance promoting this technology
21 was born only three years ago. It was in 2015. While
22 technology developed (indiscernible) has taken about ten
23 years.

24 So when the industry felt that it's time to
25 essentially make it public start to promoting the

1 ecosystem and calibration, that's when CharIN was born.
2 And as I said in just short three years went from zero to
3 155 members. And if you look at the member of CharIN,
4 it's many slides to look at, but pretty much you will
5 recognize all of the major companies coming from
6 automotive world and 16 out of 20 automotive brands are a
7 part of CharIN. And you'll see service providers, you'll
8 see utilities, you'll see energy companies, you'll see
9 silicon vendors, you'll see technology providers like my
10 company IoTecha and many, many other by diverse ecosystem
11 players that create this ecosystem.

12 Why -- why do we need an alliance? Why do we
13 need to work together? Why gatherings like this one that
14 was organized by CEC so important? Community drives the
15 development of ecosystem. Ecosystem is what creates and
16 growth and economy of scale. Because if everyone can
17 implement through the same standard, it creates healthy
18 competition, it creates the pressure on those who would
19 like to introduce products to market to reduce the
20 course, reduce the complexity, make it more appealing.
21 At the end, everyone wins. Consumers win, manufacturers
22 win because volumes grow. So ecosystem is a drive --
23 ecosystem is a driver of technology progress.

24 So we started -- I took the role of spokesperson
25 for CharIN earlier this year. And what we've done, we

1 started building a case system engagement. We created a
2 conference which by the way Energy Commission was a part
3 of, John Karas (phonetic) spoke there, Noel spoke there.
4 Thank you very much for doing that. And for the first
5 time we brought together a lot of players to demonstrate
6 that actually electrical charging in a smart way is
7 possible. It's not galaxy away, it's here, it's
8 happening right now.

9 By the -- by the way, you mentioned the JAP
10 project. And one of the demonstrations that we had done
11 together with (indiscernible) in the context of this
12 conference was using all the JAP was a use case based and
13 supported by ISO 15118 on CCS. And it was a very
14 successful demonstration. We show the three vendors came
15 together basically a couple of weeks before the event and
16 were able to connect all of the devices, make them talk,
17 interoperate and enable end-to-end pricing information to
18 be transmitted from the utility cloud all the way to the
19 vehicle so the passenger of the car, the driver of the
20 car can make an intelligent decision when to charge, how
21 to charge, what prices to use, what prices not to use.

22 And as I said because of the interoperability, it
23 was done just basically weeks, right, I mean when we came
24 together. So that was a huge accomplishment. And
25 driving this motorcycle was just a blast.

1 We had just another event recently in Detroit.
2 And this one is a very important event, because it's not
3 just a conference, it's not just us getting together,
4 talking about something, feeling good about it, and then
5 going home. This event was actually an interop testing.
6 It was a multivendor interop testing of CCS 11518. AC
7 and DC use cases. We had ten vehicles from multitude of
8 vendors, we had ten charging stations, and we had test
9 equipment supporting the same. And this actually is a
10 first demand that marks our ambitious plan to implement
11 twice a year conference and interop testing in United
12 States on West and East Coast. And this is something I'd
13 like to talk to you about also because that's an
14 opportunity for collaboration.

15 So what is the task of the global adoption?
16 Let's -- first a full (indiscernible) reality. We talk
17 about technology, we talk about what technology needs to
18 be considered and examined and so forth. You know, it's
19 very important to realize that it takes four to six years
20 to bring a new model car to market. I would encourage
21 OEMs present in room to disagree with that. It also
22 takes about nearly a billion-dollar investment with the
23 same OEMs to bring the car to market. So essentially
24 whatever you will see driven tomorrow was born six years
25 ago and a billion dollars had been already spent to take

1 this car from the concept into market. We need to be
2 very cognizant of that.

3 So when we actually talk to folks during the CPEC
4 and CEC proceedings last year and we did a little poll
5 what manufacturer is deploying what technologies, this
6 chart which is by the way available on the website is
7 very telling. Because what you will see from this chart
8 is basically most of the manufacturer, vast majority is
9 adopting 15118 as a way of charging for both -- actually
10 for three, AC, DC, and wireless. That's substantial,
11 that's momentum. That's something that indicates where
12 we are going.

13 And given the fact that we have been doing ten
14 years of development and six years of interoperability
15 testing as an industry gives you a little bit of
16 confidence that the industry knows where to go and how to
17 accomplish what we need to accomplish.

18 Another aspect of it is the following. If you
19 look at this chart, it's a very simplified representation
20 of what we need to connect to. But the reality of the
21 matter is we have vehicles of all kinds, right?
22 Motorcycles, buses, trucks, passenger vehicles, boats,
23 potentially, maybe even aircraft in the future. But then
24 we have integration as home, we have integration with
25 home energy management systems, and we have integration

1 with a grid, and probably many, many other use cases.

2 What's interesting is if you look at the previous
3 chart, when I mentioned that most of the OEMs adopting
4 15118 and you look at this chart, if we keep 15118 as a
5 constant, we enabling economy of scale, we enable OEMs to
6 take four to six years to bring model car to market to go
7 forward without any impediment, without any delay. At
8 the same time, we're also enabling a very flexible and
9 agile architecture where we can deploy the system
10 charging communicated to X anywhere because we can talk
11 to Alexa, we can talk to Google, we can talk to Apple
12 Home and probably garden variety of other ecosystems if
13 we would like to integrate our charger with. We can talk
14 to 2030.5 in parts of the U.S., we can talk to EEBus TIC
15 in France as an example, Echonet in Japan, and the list
16 goes on.

17 I mean those are just representing protocols as I
18 mentioned. There's going to be ton of them, more as we
19 need to consider as we integrate into other system. We
20 can talk to utility using OpenADR, MQTT and probably a
21 ton of other protocols.

22 So what we need to consider is what enables an
23 industry to move forward as quickly as possible? We
24 should basically constant on the vehicle side so we can
25 enable assurances. Essentially, vehicles can be

1 produced, worked, and interoperate chargers. But at the
2 same time, we need to make chargers smart so they can
3 talk to other ecosystems. And those use cases my hope is
4 will multiple by thousands because as we start figuring
5 out what electric vehicle is and what it can bring, I'm
6 sure we'll find very interesting applications that we
7 have not even considered today.

8 Just look back at the time when Google was
9 collecting excess -- wireless excess foreign addresses.
10 Nobody knew what they could be used for. But today
11 without them, our assisted GPS probably would not work as
12 well. Right? So use cases will appear by themselves.

13 When we started IoTecha, they even would call it
14 IoT something is because I personally believe that
15 electrical charging is a great example of industrial IoT.
16 What is industrial IoT? What is IoT in general? IoT is
17 intelligence, connectivity, and the ability to create
18 multi demand interaction on the same platform. That's
19 what electrical vehicle charging is, as has been
20 discussed today at this panel. Electric vehicle is not
21 just a portion of transportation, it's not just a part of
22 an electrograde, it's not just a part of household. It's
23 a part of all of the above at the same time. So we need
24 to consider this multi demand case and create a flexible
25 architecture that allows us to move forward.

1 So what can we do to help the adoption? Well,
2 first of all, I think we need to encourage ourselves to
3 move from the discussion with technology to how develop
4 the market? We need to start working market developing
5 activities.

6 I think a gathering that we had yesterday and
7 today here is very useful because we actually have the
8 ability to show each other what we're working on, how we
9 can create new relationships, how we can start working
10 more proactive fashion together.

11 It's very compelling to talk about technology
12 because guess what? It's simple. I'm an engineer by
13 training but I kind of as people say close to the dark
14 side. I work on the market development side for the last
15 ten years of my life. And honestly, technology
16 development is much simpler. It's much more difficult to
17 develop the market. Market is fragile and fickle most of
18 the time. We need to be very careful with what to do
19 with this. So let's talk about how we develop this
20 market together.

21 Interoperability is the key. We need to promote
22 interoperability. CharIN has been working for the last
23 six years together with an industry to create worldwide
24 interoperability test. And those tests have been moving
25 around the globe, now we'll have the chance event that

1 will happen in Netherlands in a couple of weeks. What we
2 would like to do? We would like to up the ante, if you
3 will, and have twice a year West and East Coast events
4 here in U.S. so we can actually help local manufacturers
5 and service providers to come together and enable
6 interoperability.

7 How? Well, let's build it together. What is an
8 example? Together we can create a joint interop lab where
9 everyone can place a charger, a car, a service and test
10 them out at any given time. Interesting, right? But it
11 can be done if we work together.

12 So let's talk about it -- think about it. When
13 you two focus on development of EV friendly policies.
14 It's very interesting from my perspective is the
15 discussion on time of use rates. I agree that they're
16 important. But what happens as an example if we have a
17 time of use rate and we have about a million vehicles,
18 each one of them capable of charging let's say 10
19 kilowatts and the rate just changed at 9 p.m.

20 What does it do to the utility grid? Right?
21 Let's think about it. Are we ready for the spike in
22 power consumption even though it may be at night-time.
23 So I think we need some kind of policies to promote
24 friendly integration, incentivize integration, maybe
25 technology diffusion and maybe some other things we need

1 to think about. Just a thought to put on the table.

2 And of course last but not least is education.

3 It's education of consumers, it's education of
4 manufacturers, it's education of service providers, it's
5 a cross-education of all of us. Because we need to
6 understand what we can bring to this market together?
7 How are we going to integrate our activities? And also
8 let everybody know what each one of us is doing because
9 that's what creates the ecosystem.

10 That's kind of what I'd like to put on the table
11 as a proposal. Bottom line is let's corroborate. Thank
12 you.

13 (Applause.)

14 MR. FUNG: Thank you, Oleg.

15 Now go to Bart Sidles from Hsubject. And after
16 this presentation, we'll take a short break.

17 MR. SIDLES: Thanks very much. I'm going to do
18 something that I want everybody else to do because
19 everybody's been sitting for a second. So just stand up.
20 There is going to be a break. But I know those seats
21 because I was in them yesterday can be a little numbing
22 and I don't want to have you falling asleep just due to
23 the fact that your legs are numb because of having listen
24 to me. So just take one second. And then we are going
25 to take a break.

1 While you're doing that, thank you very much to -
2 - yeah, jumping jacks, whatever you want to do.

3 While everybody's standing taking a short break,
4 thank you Noel, Eli, Matt, CEC for hosting everybody
5 here. I think that really what we're doing now and after
6 the panel is a discussion. But the discussion we hope is
7 leads on to something because discussion can always --
8 can lead to another discussion, lead to another
9 discussion.

10 So what I want to do is -- we're going to focus
11 on a couple of the questions. But a little bit of
12 background. For those of you who don't know, Hubject we
13 are new to the market but it's not a new company.
14 Hubject is -- we're very focused on enabling our clients.
15 We're B2B platform. We want to enable our clients to
16 offer a seamless charging experience. And that can go
17 into many different areas of what that charging
18 experience might mean.

19 But our vision is to have a seamless charging
20 experience for everyone everywhere. And we do that -- we
21 started in Europe at 2012 and we have the InterCharge
22 logo which is on tens of thousands of charging stations.
23 And so this is something that with our founders as you
24 can see there is not, these aren't just small groups of
25 people, they all have an interest of enhancing the EV

1 experience and lowering the barrier for EV adoption.
2 It's very simple. And that's how Hubject was birthed.

3 We have our EV -- excuse me, our eRoaming
4 platform very much focused on interoperability. We have
5 connected over 350 business-to-business partners in 28
6 countries and connected over 100,000 charge ports. We
7 have our headquarters are in Berlin. I'm in the office
8 in Los Angeles. We have -- my colleague Obrie is here
9 with me today is in San Francisco and we have another
10 colleague in Detroit. And we just opened an office in
11 China, having also just signed an agreement with a
12 charging network there of over 20,000 charge ports. So
13 that's all very exciting.

14 Focusing on ISO 15118, that's my area. We have
15 the -- what we understand is the only global ecosystem --
16 ISO 15118 ecosystem in place. We have a VGG route and
17 the whole PKI ecosystem with all the pools. I can go
18 into more detail on that. And we also do a lot of
19 consulting for companies to figure out their eMobility
20 strategy on a global basis.

21 So what are we here for? So we're focusing on
22 these three questions which have been outlined by the
23 CEC. Everybody has those in their packets so these are
24 really kind of the three that I've been focusing on.

25 So how are we -- how do we see needs to be

1 addressed? Really the first two -- Question 2 and 3
2 focus on cyber security and on the standards. It's very
3 simple. And it's been discussed here with my esteemed
4 panelists here. It's a lot of discussion on some of the
5 standards. I too agree that, you know, standards are
6 very important because it allows for companies that are
7 taking a big investment to go forward to have some trust
8 and investment security.

9 So as we see it here is really -- ISO 15118
10 doesn't answer a lot of those questions, especially on
11 the security and on the vehicle on s standard side.

12 If we look at the security side, Sunil was -- was
13 talking about this a bit, that cyber security is a huge
14 topic. And this is not the be all/end all, this is --
15 ISO 15118 is a microelement of this, but at least it does
16 deal with it.

17 So on the security side, the elements of ISO
18 15118 are one of the main things we always talk about is
19 authentication. We talk about authentication,
20 authorization, and billing. And the authentication is
21 probably one of the most important element of ISO 15118
22 and the elements of the PKI ecosystem that are in place
23 because they need to have that enormous amount of trust.

24 I was speaking with some OEMs here, making sure
25 that well, can we trust all the parties that are in

1 there? That is the hierarchy and I can go into all of
2 the PKI ecosystem structure according to ISO 15118 and
3 the VD application guide, but the key thing is it takes
4 us very, very, very seriously.

5 So we're looking at asymmetric keys, private and
6 public keys, you're looking at all the contract
7 information which is actually no -- no personal
8 information is exchanged. The only thing that might be
9 considered personal information is what is called the
10 provisioning ID, the PCID which is -- could be the VIN
11 number. But besides that, there's no personal
12 information that it all stays on the mobility operator,
13 the EMP, you know, whatever the acronym that you want to
14 call.

15 But the information is encrypted in a hybrid
16 encryption with the Elliptical Curve Digital Signature
17 Algorithm. This is incredibly high level. And so I just
18 wanted to point this out that this is an element of the
19 ISO 15118 standard.

20 So when we move on to the -- on the standard side
21 looking at how the standard that is ISO 15118 -- 15118 --
22 excuse me, 15118 that is out there, you know, it is
23 talking about the -- an element of the use case of plug
24 and charge which everybody knows. But moving beyond that
25 because that's kind of the today, tomorrow is smart

1 charging and then it's the bidirectional and wireless I
2 see coming shortly thereafter. But it's still something
3 that we need to be talking about today.

4 So smart charging is a big element. What we're
5 talking about here. I know that then there's kind of
6 debates of, you know, is that included in the standard or
7 not or how fully fledged is it billed out at least the
8 standard itself. You know, this is much bigger than of
9 us here. In 2008, 2009, colleagues from Siemens, from
10 Energy got together and said how can we make a great
11 charging experience? And this is how far back the
12 standard is going. It's kind of what Oleg was saying,
13 this is not something that just happens overnight.

14 And so the good thing is that this has been
15 vetted by people way, way smarter than I ever will be on
16 a global basis. You know, it's a top-down approach. You
17 have market approach from certain standards. OCPP, OICP,
18 OCPI, whatever, that's from bottom-up. This is from top-
19 down. So this is, you know, smart really investigative,
20 thoroughly looking at how things want to be applied so
21 that this is for the future. Smart charging, wireless
22 charging, these are all part of the standard.

23 I put this up here just to show that ISO 15118
24 can, you know, really is kind of a bit of a link between
25 all of this. You have the private charging where you

1 have the -- the energy management system which can be
2 connected in there. Public charging which we --
3 everybody kind of knows and thinks about and the
4 implementation of plug and charge. And then the two of
5 them together.

6 So the common link here -- which I'm going to
7 come back to this -- is that bottom part which ISO 15118
8 is able to do all of this. It's able to allow for
9 various technologies to optimizing the grid. Shaving,
10 shifting, shaping, and some of the overload protection.
11 So these are all elements that are at least considered
12 and being able to take into consideration and the
13 standard.

14 There's some questions as to how well thought out
15 is it? Standards are evolving. Even though one is might
16 be published, there are elements that are updated in the
17 future. ISO 15118 is no different, it has not been let's
18 say finalized but from the edition one which came out,
19 and for those of you who might know about the -- the
20 standard, it has various chapters to it. Use cases is
21 dash 1. Dash 2 is the network and application layer.
22 Dash 3 is more the datalink and so on and so forth.

23 So the dash 2 is more the element that is
24 focusing more on the plug and charge and smart charging
25 and wireless. This is actually a screenshot from the

1 edition draft, edition 2 which came out about a month or
2 so ago. It was just published and fresh in the draft
3 version I think last week.

4 You can see here the quotes from the actual
5 document. The bidirectional electricity power transfer
6 was officially added to the scope of the standard. That
7 is for this edition 2 which is going to be hopefully
8 published sometime next year. And then the same thing
9 for wireless. So these are really being taken into
10 consideration and this is a standard, again, for what we
11 believe will be for the future.

12 Some of the takeaways, interoperability. Hugely
13 important. We believe in that, and ISO 15118 allows for
14 it. It integrates into, as Oleg was saying, all the
15 different areas. Even further beyond if you're looking
16 at not just the charging station but the Alexa or Google
17 Home. The home charging, backend to the CPO's primary
18 line of public charging structure. Great thing is that
19 it also does not only AC but DC and high power. And the
20 CharIN group, over 150 members. Hubject is a proud
21 member of CharIN. Looking at how they can take this and
22 transition it beyond just the -- the passenger vehicle.

23 We touched on the bidirectional, wireless, and of
24 course the optimization. And again, the main thing is
25 that this is all the common denominators ISO 15118. This

1 is all great. The standards are, you know, what they
2 are. But let's move it beyond that. So I think this is
3 what the objective is. It's just not talking about a
4 standard. I'm setting a little bit of the foundation
5 because I think it's important. It wasn't mentioned in
6 the first -- if I remember correctly, it wasn't actually
7 mentioned in the first conference call for the VGI that
8 we had about two or -- two months ago. It wasn't in the
9 -- it wasn't mentioned. That's why I'm stressing it a
10 bit more because I think it's very important to make sure
11 that it is very much included in the discussion.

12 When it comes to this and implementation, let's
13 look at where people, other companies are right now that
14 have made the commitment. In addition to a lot of the
15 CharIN members, this is just -- this is not an exhaustive
16 list at all but these are just ones of companies that we
17 know and also have probably had some closer communication
18 with. We actually have -- because of our -- it's
19 investment into setting up a PKI ecosystem with a V --
20 with a V2G route certificate authority, huge investment
21 in that. But we know that we need to advance this.
22 We're taking our steps to advance it, we want to work
23 with other partners to do this as well.

24 Here's a list of some of the companies either
25 auto OEMs or hardware, software, other like-minded

1 companies that are interested in driving us forward. But
2 when I -- I also like to take very practical examples of
3 investments that have been made by certain companies.

4 Electrify America. Everybody knows them, they're
5 investing an enormous amount of money. If people's seen
6 Cliff Fietzek give a presentation, he's talking about ISO
7 15118 as a huge component of what Electrify America is
8 wanting to do. Their charging experience is actually
9 starting when you're taking the charge and putting it
10 into the vehicle. You're -- they actually want you to do
11 that. They're training you to do plug and charge before
12 you do much interaction on the screen. So this is a
13 great example of somebody that is saying, you know, it's
14 not only that we believe it, we're talking about it,
15 these are publically available screenshots of
16 presentation that Cliff made I think it was an EPRI
17 meeting just showing that their commitment as well to ISO
18 15118 and really carrying it through.

19 These are -- from our side, these are projects
20 that we have worked on. These are real projects we're
21 trying to get this going. There's a lot of investment as
22 Oleg said from the OEMs. It's not a cheap thing. This
23 isn't like saying oh well, let's just try it out. They
24 need to go forward in the future. They have made a
25 commitment. All of them are talking about making each

1 one of their vehicles now an electric model. You look at
2 Volvo. I think Volvo is going to make every one of their
3 electric vehicles in what is it 2025 is going to be
4 electric.

5 Comments have been -- commitments have made by
6 mostly OEMs. This is just -- this is just an example of
7 some of the projects that we've worked on showing that
8 we're moving forward. We'd love to move forward with
9 other companies, we'd love to get the support by CEC, by
10 other agencies to show their commitment of helping plug
11 and charge, smart charging, wireless being moved forward.

12 This is -- love to see more of this. This is
13 what when we announced the launch of our PKI ecosystem
14 together with Daimler, EBee and Virta. EBee is the EVSE
15 the actual charger, and Virta's the backend. These are
16 things that can be done and I applaud what Byron -- Byron
17 was here a couple of minutes ago. But what he's doing
18 down in UC San Diego. You know, that's amazing work and
19 there needs to be more of that getting 100 of EVSC --
20 excuse me EVs out there that are ISO compatible.

21 So moving on to wrap up here, the -- so what do
22 we see? So how do we -- addressing questions 2 and 3, it
23 is -- we just -- and a bigger picture including ISO 15118
24 making sure that that is part of the discussion. Mandate
25 not, it's just a standard, I think, is very important.

1 And that this standard as I've tried to present here
2 today encompasses all the very important elements of
3 allowing an investment buy all the different players,
4 OEMs, manufacturers, backends to say yes, we can move
5 forward with this. It doesn't mean that their -- that
6 other standards aren't going to be included along the
7 value chain. OpenADR, SEP 2.0, 2030.5. You know, those
8 can be elements that are included. But the one -- one
9 link that we see that makes it great for somebody to be
10 able to move forward is that ISO 15118 between the car
11 and the charger.

12 Encourage other business opportunities. This is
13 the way to go beyond just talking about the standards.
14 To go into the business opportunities, act as a catalyst
15 to help market, take some next steps.

16 Pilot projects. People might roll their eyes
17 with some pilot projects, but I think in technology, it's
18 still very important to have them and to encourage other
19 sectors looking beyond just the passenger vehicle.
20 Fleet, transit, marine ships, even maybe airplanes.

21 If we're -- then regarding Question Number 5
22 regarding the policymakers and research to be able to
23 foster advanced technologies. We have three main
24 suggestions here. One is to encourage having a worldwide
25 standard which we've mentioned here, just specifically

1 answering the Question Number 5. And also making sure
2 that this is -- this is a way to look at it from a global
3 basis. That there's a standard that people around the
4 world are able to look at, not just in the U.S., not just
5 in Europe, not just in Asia. This is something that
6 everybody would be able to look at, and that's why I was
7 talking about the top-down standard of people looking at
8 this from a true international aspect.

9 Government agencies, grant money. This is to
10 jumpstart, this is really to help other projects get
11 going. This is -- from small companies to big companies,
12 everybody -- you know Ryan is saying from Honda, you
13 know, it's expensive, you know, we need to -- we need to
14 make sure that we're going through this path but
15 everybody -- everybody gets a bit of a start by having
16 some funds that are coming in and that's going to help
17 the whole industry being able to advance forward.

18 And then the last one is the programs like EPIC
19 should be continued, they are great. Those funding
20 opportunities. And just being able to add to some more
21 to validate some of the additional use cases that have
22 been expressed and enabled by ISO 15118.

23 So with that, I want to thank you very much and
24 look forward to continuing the conversation after the
25 break.

1 Thank you very much, Matt.

2 (Applause.)

3 MR. FUNG: Thank you, Bart.

4 How about we take a five-minute break. We have

5 an hour left before lunch. So try to get back here at

6 11:05.

7 (Off the record at 11:00 a.m.)

8 (On the record at 11:09 a.m.)

9 MR. HARLAND: Matt, for this portion, would you

10 like me to leave the questions up on the slide or would

11 you prefer the participants?

12 MR. FUNG: We can leave the questions up on the

13 slide.

14 MR. HARLAND: Okay. If you want me to go to the

15 second slide, just let me know.

16 MR. FUNG: Okay. Just waiting on a few more of

17 the panelists to come back from break.

18 Okay. How about we get started with the

19 moderator questions. I only have a few questions because

20 I think it's more important for the stakeholders to

21 provide questions and feedback.

22 So I'll start with: We've heard today that VGI,

23 electric vehicles need to be aligned with -- aligned and

24 integrated with other DRs -- or DERs. And we've also

25 heard that communication standards and communication

1 technology are tied to hardware to enable cyber security,
2 data accuracy, as well as enhancing the user experience,
3 or potentially new use cases like autonomous vehicles and
4 even for existing use cases for all vehicle classes. So
5 kind of the question I have is are -- is an end-to-end
6 solution critically important? And if it is, what does
7 it look like?

8 MR. LOGVINOV: I'll start. I think you're asking
9 very, very big question but there's a very simple answer.

10 With every end-to-end solution we develop, it has
11 to be developed in such a way that allows multi-
12 stakeholder participation and allows many people to build
13 on the foundations of same standards so we have a
14 biodiverse ecosystem attached to it. That's the only way
15 we can build it. And actually that would ensure that it
16 is secure because security will become a selling feature.
17 And that the competition innovation will take care of
18 what we need to be taken care of.

19 MR. CHHAYA: I would -- I would -- we look at the
20 Smart Inverter Working Group and the Rule 21 requirements
21 in the way they have evolved. And that, you know, that
22 is a DER asset class in which the smart inverters could
23 be EV storage or even EVs.

24 But they're defined -- the way the group these
25 classes so that these standards can be applied to the

1 appropriate end points. So one end point is always the
2 utility or the aggregator. And the other end point is
3 the resources. But the end point also could be a local
4 energy management system and then the -- that can allow
5 for the legacy and new resources to be integrated
6 simultaneously.

7 So I think that we can have a similar approach to
8 Rule 21. This is especially important as you -- the DER
9 classes as you get more tightly integrated system and
10 2030.5 is the standard of choice in that case, with end-
11 to-end implementation. We have tried that in medium-duty
12 and light-duty scenarios as well as the DER classes and
13 it seems to hold pretty well. It happens to be a part of
14 the NIST catalog of standards today.

15 So I believe that is one approach that we can
16 look at. 15118 needs to be in the mix. Certainly we
17 need to define solutions that allow the bridging to
18 happen securely. That says the most part.

19 MS. PIERO: One last thing. It's been
20 interesting as we show up in different countries and
21 territories, the perspective on security that we're
22 getting. There's the exact types of security that we're
23 described over here earlier. You know, actually the
24 secure communications making sure what if an aggregation
25 platform gets hacked. Can you enter through just the

1 charging station itself?

2 But then the other side that we get asked about
3 is how can you actually -- once you've secured your own
4 system, how can you be part of the larger grid's security
5 and resilience? And in particular in the wake of the
6 Ukraine electrical system hack a few years ago, European
7 electric operators are saying look, our grid security is
8 our national security. What can you do to actually help
9 us in the event of a hack that happens at a higher level
10 in the grid? How can you actually be a defense to stop
11 the bleeding? Can you tell the difference -- can you do
12 something to actually first help stop the spread of some
13 kind of an infection in the electric grid? And what can
14 you do in terms of resilience to bring us back as quickly
15 as possible? How can this distributed intelligence
16 actually contribute to the healing of an electric grid?

17 So it's sort of interesting to -- what will
18 security actually be when it's not just us?

19 MR. FUNG: Thank you.

20 So my next question: It's been stated before,
21 though, we have aggressive deployment goals that need to
22 be accomplished in the near future with 1.5 million zero
23 emission vehicles by 2025 as being an example.

24 One of the key technology barriers we find -- I
25 mean, define solutions to is inoperability and

1 standardization. And kind of touching on what Oleg
2 mentioned earlier. But knowing that technology
3 development in time for automakers is between four and
4 six years, what can we do today to accelerate
5 interoperability and standardization?

6 MR. LOGVINOV: I'll be happy to start.

7 I think we need to separate standardization from
8 interoperability. The standard is created as a first
9 quarter storm. Right? But interoperability is not
10 always attached to the standard because the standard
11 itself still may have ambiguities. Room for
12 interpretation, room for implementation that maybe extent
13 is compliant in essence so standard's based in essence,
14 but two different companies can implement in different
15 ways. We see it all the time.

16 Go back to Wi-Fi days at the beginning. You
17 know, dealing card was not working, with Netgear, vice
18 versa. And we experienced a lot of those issues.

19 So what usually helps and helps in an immense way
20 is that type of interop event that I talked about before.
21 Interop labs. It's basically industry-independent
22 organizations or gatherings where everyone can come in,
23 plug in, plug in with multiple vendors. Work and kind of
24 get the bugs out, so to speak.

25 So we need to help the industry to do that. We

1 need to helpful meaningfully, in the way that actually --
2 that's helped everyone in a comfortable fashion to get
3 together just as much as possible, as often as possible.
4 The ambitious goal that we have on CharIN's side is to do
5 twice a year, East Coast, West Coast. So essentially,
6 it's convenient for constituents on both sides.

7 If others can help and join this movement and we
8 can create something that works and it's regular and it's
9 known, that's the best contribution to interoperability
10 we can make.

11 MR. CHHAYA: And to further to what Oleg was
12 talking about is that the interoperability for
13 implementing the same protocol in both tents. So, you
14 know, you need to see. You know in the early days of
15 SAE J1772? We had the issue of the car talks one way and
16 connects and the EVSE's expecting to be seen the other
17 way and they just wouldn't quite do it right.

18 We saw that recently with the V2G and the product
19 we just finished, we brought the Pacificas over to Palo
20 Alto and they -- we plugged in the same Pacificas that
21 fit just fine with the robust EVSEs, modified but
22 certified. They plugged the same vehicle to a different
23 EVSE and the EVSE basically blow -- blew up. So we
24 don't know what the problem was yet, still figuring out
25 because we got those post mortem ongoing. But something

1 as simple as that wherein it's supposed connect and
2 charge.

3 Then you get into the next interoperability which
4 is between the standards. And this is where things start
5 to get really complicated, you know. Utility doc may be
6 61850 or CIM. It may be OpenADR or may get to OCPP or
7 get to the EVSE and you have a different protocol and so
8 forth. You have multiple hob stock in different
9 languages. And number one, how do you ensure that
10 certain basic pieces of information get translated and
11 end to end the same way.

12 Secondly, how does the customer references -- how
13 does the customer preferences get factored into these?
14 And thirdly, how do you make it secure from end to end?

15 So from utility all the way to the end customer.
16 So this is rare. I think that it is important to have
17 the requirements defined against which each limitation
18 and use case can be evaluated the same way. So you get
19 an idea as to what is necessary for the ecosystem to --
20 to be secure and viable technically.

21 MR. LOGVINOV: The demonstration project is also
22 very important because they provide this playground for
23 everybody to actually verify. Not just a specific link,
24 but larger system. So Kim can come in and play with it
25 and try to hack it.

1 MR. SIDLES: Sorry, just might add. So with the
2 interoperability, I think that, you know, it's allowing
3 players to continue to explore because it's -- it will
4 be, you know, funding from organizations like CEC, other
5 agencies to help enable. And I think that it's also,
6 then, encouraging the market to evolve as well. Because
7 we talked about, you know, certain standards that are
8 coming from the top-down and then others that are -- that
9 are more market driven.

10 I think that innovation is a great way of
11 encouraging and advancing the interoperability because
12 people will come in with certain ideas of ways of
13 connecting and moving from the charging -- either the
14 car, the charging station, and beyond. And so I think
15 that fostering those ideas and encouraging them and
16 people working -- companies working together and taking
17 that step to see how one might be able to advance that
18 good charging experience. Because at the end of the day,
19 that's what people want. The EV drivers don't care about
20 the standards, they don't know it, we don't want them to
21 know it. We just something that is super, super easy.
22 And that does take a lot of trial and errors. And it can
23 be, you know, the investment and the return on
24 investment. But I think that at least be encouraging and
25 going from let's say necessarily a standard, mandated or

1 not in some cases. Maybe it's not to say only this but
2 at least to say yes, this is the way that we want to go
3 so that some companies that have to have requirements for
4 investments to say at least, you know, they said it over
5 there. They didn't mandate it but they said at least one
6 of these two so we can at least go forward.

7 I think that is a really important step of going
8 from discussion into that implementation and then allow
9 almost the market to help make decisions on the
10 interoperability opportunities.

11 MS. DAYAGI: From a manufacturer's perspective,
12 we're not an OEM of cars but we certainly manufacture the
13 electrical equipment and the EVSEs, and we also have to
14 plan our roadmap out five to ten years. So yes, there
15 are very big decisions that have to be made so it helps
16 to not necessarily select which standard is going to be
17 mandated or whatnot but to require the spirit of
18 interoperability and then I think the industry itself
19 will select what works for all of us and we test it then
20 at the demonstration project or at the events.

21 MS. PIERO: It's interesting in England they're
22 attempting to serve -- lay a groundwork for
23 interoperability simply by requiring a certain level of
24 smart functionality that will actually (indiscernible)
25 out overlaying of different systems into EVSEs. So

1 rather than going so far as actually mandating a
2 standard, they're more just sort of trying to set the
3 stage. And I like that approach.

4 We're actually agnostic when it comes to both
5 hardware and communications and software. But as long as
6 there's actually a place for us to work. So you know, I
7 think that that just sort of just making the platform
8 having some sort of minimum operability standard is a
9 good way to start.

10 MR. FUNG: Okay. Great. I think at this time
11 we'll open up the floor to the audience to ask questions.

12 MR. CRISOSTOMO: I want to ask a question. Can I
13 have the mike?

14 In Josh's presentation and then -- and then
15 repeated through demonstrations that have been funded and
16 kind of the manufacturing considerations, there's a good
17 point that was being made around how decisions along each
18 chain affect the eventual outcome for grid integration,
19 whether it's a load planning benefit or a cyber security
20 benefit.

21 So I'm wondering from like a technology
22 roadmapping standpoint how we can really identify what
23 key areas of new testing and research are necessary to
24 prove out that good end point, the cyber secure end to
25 end customer friendly charging experience.

1 And so I want to hear Ken and Josh's feedback on
2 what the industry implementers were describing.

3 MR. EICHMAN: Yeah. So I think I'd say that
4 while the decisions on that team affect the outcome and,
5 you know, from the state's point of view, the challenges
6 of removable integration, challenges with, you know, cost
7 of electricity and for service markets, and many issues.

8 I don't think you have full flexibility to say,
9 you know, go all the way back down that chain and force
10 some type of behavior. So I think there's some
11 limitations to that. But I do think being cognizant and,
12 you know, some of those implications is helpful and then
13 understanding better the path is probably a good way.

14 So from a roadmapping point of view you could go
15 out to the end and say we want vehicles with, you know,
16 that are always parked in a parking lot and always
17 plugged in, but the reality of it is it doesn't work that
18 way. So I think there's a mix that needs to be done.

19 But there are things that you can do like
20 encourage larger batteries is going to give you more
21 flexibility for charging. Encouraging more charging,
22 more public charging, for instance, may give you charging
23 at times of the day when you want it.

24 So I think there's other ways to go around it but
25 some things may be off limits like some of the customer

1 preference just may be off limits unless you can change a
2 customer's mind.

3 MR. ROHDE: I think one thing that I would
4 suggest from a cyber security perspective and this
5 overall environment is just a general word of caution, I
6 guess, is that a higher level of complexity of things
7 generally leads to higher -- higher probability of
8 compromise. Right? And I think that's a concept that's
9 pretty well understood by most people.

10 But keep in mind that everybody -- everybody in
11 all industries, we cheat. Right? So we have standards
12 and we have ideas for interoperability or whatever the
13 case might be but in the end, we're trying to just get
14 stuff to work, we're just trying to get devices that
15 function properly. And so everybody cuts corners,
16 everybody makes things -- that's how we end up with all
17 the mistakes that we see in the cyber security world.

18 And so that's -- for that end to end type of
19 testing and understanding how well the cyber security has
20 been dealt with, that's a -- that's an incredibly
21 difficult challenge. And that's -- that's where I think
22 -- all of the folks that are in this room and on this VGI
23 panel need to understand is that there is no standard for
24 cyber security. 15118 is not a standard for cyber
25 security. And so this is stuff that each -- each entity

1 involved is going to have to take on for themselves is
2 responsibility for implementing cyber security into their
3 own portion of -- of their -- of their product. So.

4 And I don't think that there's a sense in this
5 room that -- or a misunderstanding in this room, but I
6 still feel like stating security is often actually
7 meaning stating reliability. Right? And when I say
8 something is secure, that's different than saying it's
9 reliable. And so I don't know if that statement makes
10 sense but I hear it a lot in all of the sectors in which
11 we play with, we say we're secure, we're secure, we're
12 secure. But what we actually mean is that this is
13 reliable and it's interoperable.

14 But anyway, so that's -- that's where I think,
15 you know, based off of our history of working with so
16 many vendors and so many sectors is that it really
17 becomes an individual responsibility. Siemens has to
18 pick up on their own cyber security. Everybody has to.
19 And we've worked with so many vendors in the past that
20 that's been the most important part is to have all of the
21 individual entities helping them implement their own
22 cyber security programs so that they're developing better
23 products that will then work together. The end.

24 MR. SIDLES: Just to capitalize on that because I
25 did bring up security, cyber security, that I totally

1 agree. ISO 15118 is, you know, cyber security is
2 probably -- cyber security itself is probably not in the
3 documentation but that authentication element is hugely
4 important. So at least it does place its role with
5 acknowledgment of the importance of security.

6 So, and that was my point. Not at all drawing
7 the line that that's going to be because it is. I think
8 I said it's much bigger and this is just one important
9 part. But at least it's taking into consideration within
10 the -- that standard. And the importance of the PKI and
11 the encryption.

12 But I -- I also agree with your point is the
13 authentication is not really the reliability. Then on in
14 terms of the security aspect for enterprises, Hubject
15 takes it very seriously, especially as a role of a root
16 CA. As you know within a PKI in public key
17 infrastructure, the root CA is the highest trust anchor.
18 And because of our relationship and our certificates
19 embedded, our root certificates embedded in EVCC, the
20 Electric Vehicle Communication Controller which is the
21 part where it's probably one of the most vulnerable
22 aspects, especially when we're talking about charging.

23 We have -- we're going through security audits,
24 TSACs and 27001 which is kind of the ISO security center.
25 But TSACs is a specific one for the auto industry.

1 Again, very high bars to ensure that our systems have
2 that security aspects. Not -- this has nothing to do
3 with reliability. It is making sure that everything is
4 properly done.

5 So there's many different slices of that security
6 pie and at least from our side, we're looking -- making
7 to ensure that we're keeping our part of the bargain of
8 that. Our piece of the pie is properly cooked and going
9 to be served well.

10 Clearly I'm getting hungry for lunch.

11 MR. CHHAYA: I was just going to add that -- so
12 EPRI is setting up an utility industry-wide initiative
13 around integrated grid cybersecurity. So, you know, my
14 main point is that you cannot look at electricity and
15 charging infrastructure ecosystem independently of the
16 grid power delivery infrastructure. It's outside of
17 that. So.

18 The power delivery, including transmission and
19 distribution and use they need to work the same way.
20 Plus, EVs to work the same as thermostats and water
21 heaters and everything else that's connected to the grid
22 behind the meters set up as well as the other DERs. And
23 so what the trend that we are seeing in the other --
24 other elements of end use device segments is that instead
25 of focusing on the standards per se, they're focusing on

1 information models. So they're looking at thermostats
2 and water heaters from the kind of data that's necessary
3 for managing.

4 So that there is some flexibility that exists.
5 Because if we think that EVs are a -- EVs are a little
6 bit of a complicated system right now. If you look at
7 the other end devices like thermostats and water heaters
8 and plug loads it's completely chaotic, there's
9 absolutely no prevailing standard that they are following
10 at the end device level. You may aggregator protocol
11 such as OpenADR or whatever. NIST protocol or Honeywell
12 protocol, or anybody else, it's all proprietary, which
13 means that for a meaningful way to manage and have
14 visibility into the system, you need to have somebody to
15 get data out of it. So (indiscernible) additional data.

16 But in the cyber security, again, I need to
17 emphasize that it needs to be one end to the other and
18 one end of that needs to be the utility, not the EVSE,
19 not the aggregator, the utility. And the other end needs
20 to be the vehicle. And those are the two ends that I
21 always emphasize. And you need to ensure that the packet
22 that alternates at one end should reach securely at the
23 other end and open only at the end within the vehicle,
24 not anywhere in between, not penetrable. Thank you.

25 MR. BORDEN: Hi. Morning. Thank you all very

1 much for the thoughts and presentations.

2 I'm Eric Borden from TURN America Consumer
3 Advocacy Organization in California.

4 I have two questions if we have time, if I may.
5 First one to CharIN.

6 I just speak here, it says as many of us know
7 there are currently three competing standards for fast
8 charging. This is pretty suboptimal from a consumer
9 standpoint and from an economic standpoint. So I'd be
10 curious just to hear like what your -- what your plans
11 are for global domination. How you expect to achieve
12 that and what you think will be the thing that breaks the
13 log jam, if at all, towards one standard?

14 MR. LOGVINOV: So I'm assuming when you say
15 three, you mean GBT, CharIN, and CCS, right?

16 MR. BORDEN: Yeah, whatever the Tesla standard is
17 called, yeah.

18 MR. LOGVINOV: Tesla is a proprietary thing so
19 it's not a standard.

20 MR. BORDEN: So there's four, then. Okay.

21 MR. LOGVINOV: Four, yes.

22 MR. BORDEN: Sorry.

23 MR. LOGVINOV: So once again, it's proprietary.

24 Well --

25 MR. BORDEN: Four to five.

1 MR. LOGVINOV: It's not uncommon to have many
2 standards since the beginning of the industry. If you go
3 back and you look at Blu-ray and these GBT, you go back,
4 you look at Homer F and Wi-Fi and probably the list is
5 very, very long list.

6 What is the deciding factor in any one of those
7 cases? The deciding factor is an ecosystem, the growth
8 of an ecosystem, and essentially the selection of the
9 ecosystem that you would like to be a part of. That's
10 okay (indiscernible).

11 You cannot help at regulations, you can help
12 through any artificial means. It has to initially
13 develop.

14 If you look at where we are today as an example,
15 GBT, China, I don't think that we can talk much about it
16 because China probably will do what China will do. It
17 has been done with cell phones, it has been done with
18 many communication standards. And it's pretty normal for
19 a Chinese market to have its own standard.

20 But let's talk about the rest of the world where
21 we actually have an opportunity to create an influence.
22 If you look at the lengths of existence of CharIN as an
23 example versus CCS and you compare the numbers and you
24 will see the growth rates and market share, you will see
25 that at the beginning CharIN was probably much higher

1 number in percentage points because that was there
2 earlier and it was created much earlier than CCS actually
3 mature to something reasonable.

4 But if you look at the numbers that actually
5 published recently. Even if you look at as an example,
6 even inside the other tables, you will see that CCS is
7 outrunning CharIN very, very rapidly in actually
8 different countries, like Germany as an example, where
9 there are no CharIN registrations are within the month.
10 So that real hard data.

11 Tesla. Tesla deserves a huge credit for
12 championing this market and actually getting all of us to
13 start moving forward with EV development. They develop
14 something that was proprietary their own and frankly
15 speaking they were right because nothing else existed at
16 the time. You know, what would Tesla do going forward?
17 It's hard for me to say and I don't want to speak on
18 behalf of Tesla. But if you look at the numbers once
19 again, shippable cars and what is happening with the
20 market, you will see that Tesla is just one manufacturing
21 company, just one OEM and there are how many models have
22 been announced by other OEMs? I think it's close to a
23 hundred by now, right?

24 So just take a guess and if you believe Tesla
25 will dominate the market and would 50 percent or 60

1 percent, or Tesla will become one of the players along
2 the side with Porsche and BMW, GM, and Honda, and Toyota,
3 and Ford, and Chrysler, and the list goes on. Look at
4 the table that I shared with (indiscernible) earlier.
5 You know, how many OEMs have decided to go down to
6 (indiscernible) 1-5 and 1-8 and how many decided to go to
7 other directions?

8 So my belief -- and it's not just my belief, the
9 numbers that you see today, the trends that you see, the
10 growth of CCS ecosystem is exceptionally rapid. I mean,
11 just the fact itself that CharIN alliance has grown from
12 zero to 155 members in basically two and a half years,
13 that says something.

14 MR. BORDEN: Thank you so much.

15 And then a different question. I wanted to come
16 back to submetering and this may be a question for
17 Siemens but possibly for others.

18 Submetering can occur either through the -- the
19 charging station or through the vehicle itself but I'm
20 wondering if there's anything you think the state should
21 be doing to enable submetering either at the residence or
22 at commercial locations or both.

23 MS. DAYAGI: Yeah. So our -- our view can be
24 twofold. Right? So one, we have a lot of submetering
25 that is done either in a panelboard or a switchboard. Or

1 we have submetering that is directly inside the EVSE. We
2 think that the way forward for the eMobility market
3 really is through submetering inside the EVSE because it
4 does allow the EVSE to be metered separately therefore
5 receive a separate rate of energy if so desired.

6 It also allows everybody to view the specific
7 data just for that EVSE and the consumption that is being
8 used for powering the vehicle.

9 So it's the specific data that was in the EVSE
10 and the specific application of just that one metering
11 point that's being done. So from -- I guess from a state
12 perspective, it would be the state has already done a
13 good I guess -- has done a big pilot on submetering and
14 we're all I think anxiously awaiting those results. I
15 think another more targeted submetering -- I'm going to
16 call it pilot would be advisable. We're working on a
17 couple of things at Siemens so if you guys are interested
18 in hearing more about that one, then we can talk offline
19 about that.

20 MS. PIERO: Yeah. I think actually also helping
21 utilities to work through reconciling retail and
22 wholesale meters. There's -- that was one of the major
23 subprojects, as I understand it, within the L.A. Air
24 Force Base project where they were actually bidding into
25 wholesale markets using EVs. It's actually recognized

1 and reconciling SoCal's accounting. And actually
2 enabling utilities through both their software, their
3 analysis, and their accounting to be able to recognize
4 what's happening in those submeters is very important and
5 it allows you to move to having rates that actually
6 encourage and recognize those three sources.

7 MR. CHHAYA: And we want -- what we're finding in
8 the submetering is that the end points are easier to
9 facilitate with a metering hardware. It is when you get
10 to integrating with the enterprise metering and billing
11 systems for M&V that's where it becomes really cumbersome
12 and expensive.

13 So what could be useful is to institute standards
14 around how to interface, how to get this data back to the
15 enterprise billing systems. And right now it is the
16 majors, you know, the utilities, applications of all the
17 enterprises such planning programs there, SAP, Oracle,
18 and so forth. They manage those systems so it is pretty
19 cumbersome.

20 MR. CRISOSTOMO: Sunil, could you elaborate on
21 that last --

22 MR. CHHAYA: Sure.

23 MR. CRISOSTOMO: -- that whole standards point
24 where -- are you talking about having say, OpenADR take
25 information, extract it through the vehicle or the

1 charging station back into the utilities' MDMS, Meter
2 Data Management System, for subtracted billing along the
3 lines that Celia or Jacqueline are describing so that
4 you're taking one kind of format of information into
5 OpenADR or OCPP for later settlements.

6 MR. CHHAYA: I think it is the later settlements
7 and is related to getting this data back to the metering
8 billing systems. We just set essentially for measuring
9 the primary household end use meters, you know, the
10 existing AMI infrastructure for metering and settlement.

11 Now we are adding an additional meter,
12 essentially a submeter that needs to go and stream the
13 data in the same way, (indiscernible) in total data into
14 the same way. So the IEEE C I think 1219, the protocol
15 that exists for metering that difficult end use all the
16 smart meters use, that will be the data stream that is
17 provided by this metering device. If we get a metering,
18 insert a number and do the smart -- any of the EVSEs it
19 provides the data stream. The issue is how do you get
20 that into a Silver Springs network or how do you get
21 in -- provide that network all the way back to the back
22 office where you can then use it for settlement purposes.

23 And additional -- that additional data stream
24 into the metering billing systems through the head end
25 and all the way back to the -- back to the enterprise,

1 you know, where the database resides. Metering data
2 resides.

3 -Additionally, the stream is expensive, seven
4 figure, eight figure type deal, you know, so every time
5 we had to make a change. So that is where if you have a
6 way to standardize and maybe then because if you are not
7 careful (indiscernible) but when we are going for new
8 installations, you can start, it's including that as part
9 of the setup.

10 But when we're doing the distribution resource
11 planning or any of these other exercises, I think
12 metering will be critical. Think ahead a little bit and
13 see if we can institute that as a standard and design in
14 the system. Design the stream of data in the system.

15 So that is a short answer to a very important
16 question. We can get into more detail but it essentially
17 indicating the dataset back into for settlement purposes
18 for subject to billing or even for billing initial. And
19 also for LCFS settlement.

20 MR. CRISOSTOMO: I guess building off your
21 response, Sunil.

22 Bart, could you talk about how, say, an EVSP
23 would do a similar extraction for roaming and potential
24 inter-utility billing?

25 MR. SIDLES: So it's -- now we're talking about

1 data, we're talking about that earlier. And data is so
2 important to be able to enable a lot of different use
3 cases. And so I think it's important to say from what we
4 discussed here with ISO 15118 and then a use case for
5 that -- for the eRoaming, you know, they're two separate.

6 But to specifically to your question, you know,
7 that's ultimately I think the end goal is to make it
8 incredibly seamless for the EV driver through its EMP,
9 eMobility service provider. That is the pers -- that is
10 the company that has the end contact -- or the contact to
11 the end customer.

12 And, you know, that relationship is very
13 important and this -- this is -- brings on a lot of other
14 -- points us to who that is. And of course in an EV
15 world, the auto OEMs are now able to have that
16 relationship and continue to have that with the EV driver
17 rather than just selling the car and kind of servicing
18 for an ICE vehicle as they are -- do now.

19 But, you know, it all comes back to the data that
20 is gathered and shared from the EV through the EVSE in
21 the back end for that the clearinghouse element of
22 understanding how information is shared not only from a
23 single network but from multiple networks allowing for
24 the eRoaming aspect which is, you know, what CARB is
25 looking at right now of addressing that issue. So that

1 it's, again, it's to make an easy experience for the end
2 driver but ultimately what one wants to do is be able to
3 go to any charging station and be able to charge and have
4 that go back to one bill regardless of which network
5 they're on. That's that -- the ease of really roaming.

6 But it all comes down to the information that is
7 received, the contracts that the individual has, the
8 sharing of information, how that's billed on which
9 billing platform. I say platform, which relationship is
10 it to the utility that they want to choose or is it to
11 their car manufacturer or is to some third-party
12 eMobility provider which, you know, you look at Uber.
13 Uber could be one in the future of a huge access to EV
14 drivers.

15 But I think that this is the discussion of having
16 it as easy as possible for the -- the driver to have one
17 contract and be able to have all the background
18 information disseminate so that they are able to see one
19 bill but be able to charge in multiple charging stations.

20 MS. HOSTETTER: Hi, I'm Obrie Hostetter, I'm with
21 Hubject and I know that we've had quite a voice here
22 today. However, we have been collaborating with multiple
23 stakeholders all who support ISO 15118 and would like to
24 see it be part of the VGI roadmap update. Some of them
25 couldn't be here today so we've consolidated a few

1 comments from them. And so we will submit all of these
2 publicly after the forum via the docket. But there's a
3 few comments that we'd like to read on behalf of Audi,
4 BTC Power, Electrify America, Greenlots, Lucid Motors,
5 IoTecha, Porsche, Volkswagen, and Hubject.

6 And first and foremost, we want to thank all of
7 the various agencies and panelists for coming together
8 today to have this discussion and for allowing us to
9 provide input.

10 We want to respond to Question 3: What standards
11 and methods of communication need to be considered in V -
12 - vehicle-grid integration programs?

13 And for this we respectfully ask for the
14 inclusion of ISO 15118 as a standard proto -- or
15 standardized protocol to maximize VGI -- excuse me --
16 capabilities between the EVSE and the EV including ISO
17 15118 will enable plug and charge which will result in an
18 easy and seamless charging experience for the end EV
19 driver. And at the end of the day, that's why we're all
20 here, we all want to see that ease of use. And it will
21 done through an internationally recognized interoperable
22 and secure protocol.

23 It will also pave the way to the other use cases
24 of smart charging, bidirectional charging, and inductive
25 and wireless charging. The later also will start to pave

1 the way towards autonomous charging. And as evidenced by
2 some of the presentations here today and the fact that a
3 lot of the large auto and EVSE manufacturers and charging
4 network operators are beginning to include ISO 15118 in
5 their vehicles and systems. We believe that the time is
6 now for the state of California to really start to help
7 enable this technology.

8 We would also like to respond to Question Number
9 5. And part of the recommendation is that we would like
10 to see that grant monies from programs like ARFTVP focus
11 on publicly funded charging stations that are ISO 15118
12 enabled and that funds from programs like EPIC -- EPIC
13 could also be used to validate both business and
14 financial models through some of the latter use cases of
15 smart charging, bidirectional charging, and wireless
16 charging.

17 We thank you for taking this into consideration
18 and we look forward to working with some of the various
19 government agencies on these topics. Thank you.

20 MR. VINCENT: Thank you. Vincent Weyl, Kitu
21 Systems. Thank you to all the panelists this morning.

22 I have a few candid comments. I spent 23 years
23 in Icaria working the telecommunication industry. And
24 I've seen and unfortunately been part of a lot of bouts,
25 disputes about protocols and standards including IP, ATN,

1 TMA, DMA, et cetera. And when I moved to the KIN-TEK
2 industry a year ago, I thought these days would be past.
3 But here we are this morning looking at protocol and how
4 best to implement technology around vehicle to grid
5 integration.

6 What the KIN-TEK world has brought us is IP.
7 Thanks to IP, a lot of us this morning, we can look at e-
8 mails on a variety of devices, smart phones, laptops.
9 And we connect through these devices all the way into one
10 to a service provider. IP support limited device, it
11 supports you at the home area network level so you can
12 have a home base use supporting network, it supported in
13 network, it's supported by applications and service
14 providers.

15 I guess my question this morning, we talked a lot
16 about ISO 15118 as a protocol between the vehicle and the
17 charger. And it seems to be, I -- you know, I don't have
18 an opinion on that, I'm not a technical person. Seems to
19 be a good one. But will that solve a program that's as
20 big, an end to end as vehicle-grid integration?

21 MR. LOGVINOV: A short answer. Yes. Very much
22 the same way as HTML, not IP but HTML running on top of
23 IP enabled us to see webpages today and enjoy all the
24 web's wealth that it has to bring to us.

25 ISO 15118 was developed as a language, if you

1 will, running on top of IP that allows the charger and
2 the car to exchange a lot of information and not only
3 control charging process but also to auxiliary functions
4 that could bring us, you know, as example tariffs, they
5 can bring us integration with renewable energy, and many
6 other aspects of it. That was the intention. If you
7 look at what was ten years ago kind of a starting point
8 for 15118 development. It was essentially stemming from
9 the idea.

10 First of all, why would you use high speed power
11 on communication as a medium, right? Why not to use
12 something similar to (indiscernible) it's good enough for
13 control. But the idea even back then was it's not just
14 for controlling of the charging process, it's for the
15 ability to transfer data between the two and what kind of
16 data in the future? Nobody knows.

17 And the protocol was created in a way that allows
18 you this flexibility, allows you to define additional
19 objects, blogs that you can put into it and communicate
20 between the two actors which is a primary two actors, car
21 and the charger, but also create data streams that can be
22 originated from the car and from the charger and can be
23 communicated up into the clouds to services that probably
24 ten years ago we haven't thought about. But today we're
25 already starting to envision. Tomorrow maybe we'll

1 deploy.

2 So that basic is a notion of 15118 and kind of a
3 genesis of its creation.

4 MR. VINCENT: So I don't disagree with that. But
5 in your answers was a lot between vehicle and charger.
6 So how does the grid support 15118? What does a grid
7 operator need to do to enable the use cases and --

8 MR. LOGVINOV: Well, if you go back and look at
9 the pictures that I presented in my slide, 15118 is a
10 constant point between the car and the charger. What
11 will be between the charger and other actors and
12 infrastructure components will differ and vary based on a
13 variety of applications.

14 As an example, if you're using Alexa at home,
15 right, you probably would want Alexa to talk to a
16 charger. Alexa comes with its own protocol.

17 If you have, as an example, something that is
18 being deployed in Germany, you would probably want EEBus
19 between energy management system and the charger as a
20 communication protocol because that's what standardized.

21 If you are in U.S., in some cases you probably
22 would want 2030.5 as a means to communicate between the
23 meter and energy management system and the charger. And
24 the list of those examples is actually endless.

25 MR. VINCENT: So you don't see a world where you

1 reached out to the car without the charger?

2 MR. LOGVINOV: Well there are some
3 implementations today and some examples today where as an
4 example certain companies are using telematics to talk
5 directly to the charger and it works. Do I see grid
6 talking to the charger -- to the car directly? Yes. But
7 does it have to be the same end-to-end protocol without
8 stopping at the charger? I don't think so.

9 In fact, I can tell you that there are benefits
10 associated with knowing the task, knowing which charger
11 you're connected to. Because if you start talking about,
12 as an example, deploying chargers within the confines of
13 the existing power distribution, you have to be cognizant
14 of what breakers you're on, what kind of conductors you
15 have, what kind of cables you have running. Right?

16 If you imagine the world where the charger
17 basically mindless device that enables you to communicate
18 with the car, you're connected to something. You have no
19 idea what you're connected to. It could be okay from the
20 point that you have conceptual logical communication, but
21 through the point of you power planning and constraints
22 planning, it's useless.

23 MR. CHHAYA: I should add that (indiscernible)
24 that five and all the work we have done over the last 10
25 or 11 years has focused on data communications between

1 the utility and the vehicle with the EVSE acting as a
2 bridge. So it can have a five-layer bridge between Wi-Fi
3 and (indiscernible) but the data goes directly to the
4 vehicles.

5 That was further emphasized with the V2G with the
6 grid, we are continuing to do and the (indiscernible)
7 what we are continuing to do with deciding on the
8 vehicles where (indiscernible) off the vehicles where the
9 two end points (indiscernible) as if that five are the
10 utility and the vehicle. The EVSE could have use cases
11 allowing metering and billing, could have use cases
12 around charging session management and diagnostics and so
13 forth that could facilitate varying number of protocols
14 but it is -- there are other means of communications that
15 do allow this and they've been verified. Not only that
16 but the -- we have under (indiscernible) that certain
17 manufacturers are looking at implementing them as well on
18 the vehicle.

19 MR. LOGVINOV: The bottom line is you have to
20 look at where is the vector of trust. Right? Where is
21 the majority moving? And if you look at where the
22 majority is moving as it's very clear from the table I
23 shared earlier which was a poll done actually in a
24 similar setting, we see very significant evidence of
25 15118 becoming a common denominator as a mostly

1 widespread technology.

2 (Speaker without a microphone)

3 MR. LOGVINOV: Yes, exactly. And as I said
4 before, you know, when we start -- think about as an
5 example, a large home, right, or a building. You have
6 circuits, you have chargers connected to different parts
7 of the building. How do you do capacity planning if you
8 don't know what the topology is?

9 It's great to say that you can communicate
10 directly to the charger, to the car, but then how did
11 capacity planning?

12 MR. VINCENT: I'm not making a debate about
13 15118.

14 MR. LOGVINOV: Yeah.

15 MR. VINCENT: I'm saying we're addressing a piece
16 of VGI --

17 MR. LOGVINOV: Yes, absolutely.

18 MR. VINCENT: I think the goal here of this
19 workshop to VGI.

20 MR. LOGVINOV: Exactly.

21 MR. VINCENT: I suppose with the technology you
22 know the affects as well. So it's interesting, you know,
23 and I've done, you know, it's very obvious and clear you
24 say the momentum is around 15118, so how do we fix the
25 rest?

1 MR. LOGVINOV: Well, and that is a very important
2 question. And from my point of view, that is what can be
3 fueled by us working together doing more demonstration
4 projects, figuring out viable and useful use cases that
5 we can leverage to accomplish VGI.

6 And that's what's important, right? That's what
7 we can accomplish together. We have a basic technology
8 in our hands. We have the language between the car and
9 the charger, we have certain information. Now what
10 information needs to be transferred from the charger and
11 to where to enable VGI? Right? Are we doing behind the
12 meter optimization? Then probably the set of tools that
13 we will use in this case may be very different from us,
14 as an example, controlling a single standalone charger
15 somewhere out in the street. Right?

16 Or as an example, are we trying to optimizing
17 operation of a fleet where we have probably need for
18 vehicle to vehicle transfer, not just communication
19 between the grid and the car. Right?

20 Or, as an example, if we embrace the concept
21 demonstrated by Porsche where they have essentially
22 storage embedded into the charging plaza and the ability
23 to leverage the renewable through the same setting. Also
24 somewhat different way to operate the system.

25 So I think we need to embrace that these are

1 going to be a very diverse set of deployments with
2 probably protocols that will be selected specifically for
3 the type of deployments. And they will be various.

4 MS. PIERO: You know, also -- so I -- I should
5 back up and say that I actually do think that 15118 could
6 address all of these areas that you're talking about.
7 You know, Barton did say there are routes to actually
8 work with all of these different technologies, including
9 the one that I'm pushing, and I absolutely think he can
10 get there.

11 But I think it was interesting the point that you
12 raised about, can utilities, will they ultimately be able
13 to just speak directly to any device, any car? And I
14 don't know if they'll want to, actually. Because you're
15 talking about utilities then increasing their controlled
16 nodes by five, six orders of magnitude. They're not
17 ready to do this and I don't know if that's actually --
18 that's not their business, frankly. Or it's not their
19 business model.

20 So it could, if that type of scenario were to
21 happen, it could end up being the new way that utilities
22 are actually remain relevant in an involved system that
23 has so many distributed nodes or it may turn out that
24 there is a much more robust middle platform of DERMS, of
25 aggregators, of third parties that are actually

1 translating these things. So does it have to be 15118
2 end to ends? Maybe not. But there is the capability
3 there, it's absolutely true.

4 MR. FUNG: Sorry, I'm going to have to cut this
5 conversation short, we're just about out of time. But I
6 wanted to go to WebEx and see if there were any
7 questions.

8 MR. LOGVINOV: If you don't mind, Matt, I would
9 like to add one very quick point just building what
10 Jackie said because I think it's important to embrace
11 your point.

12 We're moving from central control to
13 orchestration. And it happened in IT world and we have
14 to recognize it will happen with EV charging as well. So
15 you're absolutely correct with that.

16 MR. HARLAND: And, Matt, I believe we have one
17 hand raised on the WebEx. Steve Davis.

18 So, Steve, we're going to unmute you phone. And
19 after the WebEx comments, we are going to break for
20 lunch.

21 MR. DAVIS: Yeah, thank you very much.

22 MR. HARLAND: All right, Steve, your line should
23 be open.

24 MR. DAVIS: Okay. Can you hear me? Can you hear
25 me now? Okay.

1 MR. HARLAND: We can, yeah.

2 MR. DAVIS: Okay. Okay. Thank you for all the
3 comments from the panelists, this was really good. I
4 think I would like to address the comment about
5 communicating directly with the vehicle.

6 One of the things about 15118 is that it's
7 designed with the automakers' brand protection mandate in
8 mind. In other words, things are always very sufficient
9 of the idea that the utilities would be in a position to
10 directly control the charging of the car. The way that
11 15118 works is that the two actors, the station and the
12 vehicle, engage in negotiation and the car has a chance
13 to weigh in on what preferences are based on the end
14 user's departure time and the needed kilowatt hours.
15 Once a load plan is created, the customer gets and the
16 vehicle gets that energy unless it voluntarily agrees to
17 give it up.

18 There again, it's a matter of a long-running
19 multiyear process that was engaged in over a period of
20 several years before it was finalized. And then we've
21 had years' worth of interoperability testing which of
22 course will continue. So I think that's one thing to
23 address the idea of direct utility control.

24 The other one to remember is that the utility
25 regulatory model is going to evolve on a state by state

1 and country by country basis over the next several years.
2 So having an object model which is creating a distributed
3 energy resource that's dispatchable because of the object
4 model's inclusion of a revenue grade meter, you -- you
5 are flexible for going forward and I think that's an
6 essential part of this.

7 And just to emphasize, I think it was Obrie, I'm
8 not sure who was commenting because I had to step away
9 for a minute. But I want to lend my support to, you
10 know, we do need to define a standard, we do need to
11 create a standard and put money where our mouth is about
12 VGI by investing in a common unique standard so that as
13 we move forward, the automakers can understand the market
14 signal that's being created by the state of California
15 that their preference is being validated by, you know, a
16 matching investment on the infrastructure side so that
17 they can deliver their customer promise.

18 It can't do it unless we do it. And we certainly
19 can't have -- I mean, the enemy of simplicity would be
20 more fragmentation. And I think we've already had enough
21 of that on the DC fast charging side with multiple
22 different connectors.

23 So if we really want to accelerate adoption, we
24 have to simplify. And by simplifying what we're
25 investing in and getting it to be a common unique

1 standard, then all the automakers, they're not -- they're
2 not mandated to put it in their cars, but if they do,
3 they'll be able to have a customer signed up for seamless
4 roaming wherever the vehicle goes before they even roll
5 off the lot. And the customer doesn't need -- need RF ID
6 cards or apps anymore, they just have that plug and play
7 experience which let's all remember, Tesla has I think in
8 excess of 60 percent market share, and although they
9 don't do VGI, one thing they did do right is to have just
10 a plug and play experience wherever that customer goes.
11 Thank you.

12 MR. HARLAND: Thanks, Steve.

13 I think that was the extent of the WebEx comments
14 so at this point I think we're ready to break for lunch.
15 But I wanted to thank the panelists. We probably could
16 have kept going on that, that was a good conversation.

17 And let's come back at five after 1 so everybody
18 has an hour to go find food.

19 MR. FUNG: I just wanted to add that there is a
20 public comment session after this afternoon's panel. So
21 if there's still topics that we want to discuss, there's
22 still an opportunity. Thanks.

23 (Off the record at 12:06 p.m.)

24 (On the record at 1:10 p.m.)

1 MR. FUNG: -- for the VGI Roadmap Update
2 Workshop. We'll be starting with the Customer
3 Experience Panel. And it will be followed by an
4 open comment period, as well as a discussion of
5 next steps. And then we'll do a wrap-up from the
6 agencies.

7 And as a note to the WebEx participants,
8 please mute yourself. Thank you.

9 And I'll turn it over to Eli, who's
10 moderating the Customer Experience Panel.

11 MR. HARLAND: Okay. Fantastic. Thank
12 you, Matt.

13 And as Matt said, welcome back,
14 everybody, from lunch. It looks like we're
15 getting a close to on-time start. We said 1:05,
16 it's ten after. Not bad.

17 So this is our -- the final panel of the
18 workshops. And for those that are familiar with
19 the matrix, as well as the 2014 Roadmap, this is
20 a track in this Roadmap that we decided to add.
21 And the objective or, I guess, the hope is that
22 this track begins to bring together the kind of
23 interrelated topics that we explore when we're
24 looking at economics and we're looking at policy
25 and planning and technology and considering how

1 the customer fits into that, whether it's those
2 technologies working for the customer or it's
3 planners that -- or it's planners assuming and
4 making the right forecast for how customers may
5 interact with the grid with their vehicles.

6 So we brought together a diverse group of
7 folks with different points of view. And not
8 necessarily that they're competing, but we
9 definitely wanted to have folks who are working
10 with customers in different capacities
11 represented, and also include -- making sure that
12 we're including strategies that address any of
13 the needs for disadvantaged and low-income
14 communities, as well.

15 So we're going to follow a very similar
16 format to the previous tracks. We're going to
17 start from my left and work our way around with
18 panel presentations.

19 The first presentation will be from Byron
20 Washom. And I just want to make a note that
21 Byron is going first. He's going to have take
22 off a little bit early. So if he does get up,
23 it's not a signal for everybody else to leave.

24 MR. WASHOM: Thank you, Eli. And it's a
25 pleasure to be here and thank you for the

1 invitation.

2 So what I'd like to do today is to show
3 how vehicle grid integration blends into our
4 microgrid at UCSD.

5 And so our microgrid at UCSD is compiled
6 of a wide variety of distributed energy
7 resources. Of particular note are 2.5 megawatt/5
8 megawatt-hour battery system, as well as our 2.8
9 megawatt fuel cell that is combining power with a
10 350 ton absorption chiller that also operates off
11 of directed biogas. So we self-generate about 85
12 percent of our electricity on an annual basis and
13 we import the balance of 15 percent. And that 15
14 percent is contracted to be 100 percent
15 renewable.

16 So our goal is to be an embodiment of why
17 we're here with the vehicle grid integration, and
18 that is working with open standards, return the
19 value of grid integration to the stakeholders to
20 commercialize prior investments by the private
21 sector and public agencies, and to make
22 electrification of transportation accessible to
23 all members of California.

24 If you take the old adage of when was the
25 best time to plant a fruit tree, the answer is

1 five years ago. And so it was five years ago,
2 approximately, that we had our first true
3 engagement, deep engagement with the CEC Grant,
4 both on ISO 15118, which we heard about this
5 morning, as well as we had three DC fast chargers
6 on the grant. And that led us to then purchase
7 for our fleet 50 EVs that were ISO 15118
8 compatible. So that was our kernel of getting
9 involved.

10 Simultaneously, we entered into a
11 program, a no-regrets CAP X (phonetic) program to
12 install 170 Level 2 stub-outs throughout campus.
13 We were the single largest recipient of those
14 settlement funds from NRG, and site funds. And
15 that became an incredible, incredible fortuitous
16 investment. Because as a consequence today, we
17 now have EV charging stations at hospitals,
18 retail, multi-unit dwellings, the fourth largest
19 visitor center in San Diego, parking structures,
20 our police station, fleet services yard, a zero-
21 net energy warehouse, and an ocean marine
22 terminal. That's all from that investment with
23 EVgo back in 2014.

24 So with that, this is what just the
25 ChargePoint profile portfolio looks like today of

1 134 Level 2 chargers on campus, and so it's
2 widely distributed throughout.

3 And so as a consequence of this platform,
4 again, with all these stub-outs, that enabled us
5 to create a plug-and-play approach to a wide
6 variety of different developers, both commercial
7 and innovators. On the left-hand column here you
8 see what we regard as commercial units that are
9 either deployed or they're pending to be
10 deployed. And by pending, I mean they're funding
11 and are in their process. And that will include,
12 as I mentioned, the 134 ChargePoints, 15 Innogies
13 that are 15118 compatible, 20 from eMotorWerks.
14 We're a recipient of 18 Power Your Drives from
15 SDG&E, 10 Level 1s that will allow people to stay
16 all day.

17 And of greatest significance, that I'll
18 talk about later, and that's why I highlighted it
19 here, we just concluded an agreement with EVgo to
20 put 6 by 125 kW DC fast chargers at a single site
21 at a plaza. So a distance from here to that wall
22 will have on campus three-quarters of a megawatt
23 of capacity of DC fast charging. I never thought
24 I'd be saying those words.

25 Our single largest load on campus is two-

1 and-a-half megawatts and that's the San Diego
2 Super Computer, which is our crown jewel.

3 On our right, we see a wide variety of
4 demonstrations and prototypes to newbies, to
5 Hitachi, Honda, Princeton Power. Shell has ten
6 units. We have three DC fast chargers that are
7 integrated with the -- with PV and second-life EV
8 batteries and a DC fast charger.

9 So as a consequence, this makes UC San
10 Diego the largest and most diversified portfolio
11 of EV charging stations any place in the world.

12 So let me -- so our growth rate has been
13 150 percent in EV commuters and in megawatt hours
14 dispensed per year. That equates to about nine
15 percent a month is our growth rate. We
16 originally started this program with calling it a
17 Field of Dreams, build it and they will come.
18 We've renamed it the Tiger by the Tail. We're
19 not able to keep up with an overwhelming demand
20 and response by the student, faculty, staff, our
21 retirees, and the general public to this.

22 And so here's the growth profile and it's
23 color-coded accordingly to the various vendors
24 who are participating in this program. To put it
25 in perspective, it took us seven years to reach

1 one gigawatt hour, which we'll reach in November.
2 And it will take us only one year to reach the
3 two gigawatt hour mark.

4 So basically, our 2018 goals, all of them
5 will have been met by October. And they were
6 basically a doubling of whatever we achieved in
7 2017. Our 2019 goals will, in fact, be a
8 doubling of the 2018 goals. But of significant
9 note, just in terms of volume, that I struggle
10 and lose sleep over the volume because it's such
11 a hard demand to satisfy, is we have 500 unique
12 individual commuters coming to campus per week.
13 I never thought that. So -- and ten megawatt
14 hours of charging just on the ChargePoints. So
15 the build it and they will come is, in fact, a
16 workable strategy.

17 We have been able to maintain. The
18 bottom dashed line on there is our growth rate in
19 ChargePoint Level 2s. The blue solid line is our
20 growth in -- now up to over 40 megawatt hours per
21 month. And -- but then the top line is actually
22 the individual unique drivers, we call them, that
23 are continuing to come to campus. So we are now
24 outgrowing ourselves. They keep coming as long
25 as we keep providing charging stations.

1 Let's look for a moment of where are
2 these cars coming from? We entered into a
3 relationship with five OEMs that gave, basically,
4 fleet prices to our student, faculty and staff.
5 And so those fleet process then were -in the
6 incentives and the affordability. So, in fact,
7 providing affordability to an EV and
8 accessibility to charging created that one-two
9 punch to bring these cars to campus. And these
10 are not Teslas. These are not being driven by
11 Teslanaires.

12 You can see in the pie chart here you, in
13 fact, have a fairly modest price range of cars,
14 except for the BMW i3. And the BMW i3 is
15 actually the largest unique commuter that we have
16 on campus. And the reason why is BMW gave the
17 sweetest deal, \$12,000 off of the MSRP. And they
18 also won last year's Governor's Award for
19 Outstanding Leadership, that Dealership won the
20 Governor's Award Leadership.

21 So I love going back to this chart, this
22 statement here. It was actually written back in
23 2014 by J.C. Martin of SDG&E. And so I think he
24 articulated what we are discussing today, four-
25 and-a-half years later, and he really lays it

1 out, of what the customer choice requires that
2 you have to satisfy.

3 "My biggest fear right now is losing
4 customers and ending up with stranded assets.
5 So I have to remain extremely competitive
6 with alternatives of home-market charging,
7 public charging, high-powered DC fast
8 charging, et cetera. So everyone who
9 installs, even though you're a workplace, you
10 have to continue to maintain that
11 competitiveness and look at it holistically
12 in order to continue to serve."

13 So to J.C. Martin from 2014, I say,
14 bravo. And today I say, when I look at this
15 statement, what a delicious challenge this
16 represents.

17 So here are some of the data. Here is a
18 3D chart. Along the bottom is the 15-minute
19 intervals. On the right Y-2 axis is the,
20 basically, the quarter. The earlier date is in
21 front, later date is in the back. But what you
22 see in this graph is the growth in the peak
23 demand on the far left and how it's getting
24 higher and higher, more and more megawatt hours.
25 It also shows a second hump or the afternoon

1 charging, we have a second wave of chargers. And
2 now the development of a third hump in the post-
3 work hours. So eventually we want this chart to
4 be higher and look like a plateau, and that means
5 higher asset utilization, more turnover, more
6 relocation of the cars after a completion of
7 charging.

8 We then get to DC fast charging and
9 versus Level 2s, and so we're fairly plateau. We
10 have a fairly shallow performance of Level 2s of
11 only about 10 kilowatt hours. But with time,
12 more and more drivers are showing a preference
13 for DC fast charging and, also, they're taking a
14 deeper charge.

15 Another very significant observation is
16 we have four parking stalls assigned to DC fast
17 chargers and they produce about 25 percent of our
18 total output. Conversely, Level 2s have about 80
19 stalls assigned to them and they provide 75
20 percent. So one, 4 stalls, 25 percent, the other
21 one, 80 stalls, 75 percent, the ratio is terrible
22 for Level 2s. And so on a college campus where
23 parking remains scarce, even from your days when
24 you were there, that type of ratio is compelling
25 us to move faster and quicker to DC fast

1 chargers.

2 So let's look at some of the critical
3 issues from a social consideration in order to
4 make sustainable business models I EVSE.

5 The first one is -- this is from EDF de
6 France, that it's an exaggerated chart of looking
7 at how do you feed the duck curve or fill the
8 duck curve, either with home charging 100 percent
9 of filling the gap with workplace charging.

10 This is a major point I'd like to share
11 with this audience. I contend that the workplace
12 is the best accelerant of reaching the MUD
13 market, multi-unit dwelling market, and the
14 disadvantaged community market and all economic
15 stratospheres, stratified segments of our market
16 because workplace charging is common to all those
17 people. You don't need home charging, you don't
18 need public charging if you have adequate
19 workplace charging.

20 So what this also shows is the value of
21 if you price it right and if you make it
22 available, then part of the duck curve will be
23 solved, primarily through workplace charging
24 rather than any other means. And so I forever
25 want to be known as the individual who invented

1 the EV happy hour, because that's exactly what
2 we're going to be doing with our EV commuters.
3 We will be alerting them in advance, tomorrow
4 there's going to be renewable surplus day and we
5 are going to have an EV happy hour, literally.

6 And so since we're self-regulated, we can
7 change our tariffs at will on a daily basis.
8 Since we're self-regulated, we can pretend in
9 order to see the value that they -- that we're in
10 Fresno for a day. If Fresno is having a grid
11 event and we want to see how our drivers and cars
12 can respond, we're going to notify them that
13 we're doing an experiment today and this is how
14 we want to see how you react. If you
15 participate, you get a free day of charging next
16 week. And if the grid event the following day is
17 in San Francisco, we can pretend we're in San
18 Francisco for the day. So we can accumulate all
19 these things on almost a daily basis, rather than
20 wait for that grid event to happen in San Diego.

21 This is another metric that we have
22 coming up, and that is called the enterer
23 (phonetic) week cadence of trying to understand
24 the EV commuters. And we start with day one is
25 Monday, and so everyone is a first time driver on

1 Monday. And then on Tuesday, half of those
2 people come back and the other half are new
3 drivers. And then on Wednesday, you have three
4 segments, four segments, five segments. What
5 this chart tells me on the fifth day, on Friday,
6 where 80 percent of our drivers are repeat
7 drivers, is that these people probably do not
8 have access to home charging. Why else would you
9 put up with the hassle of having to relocate your
10 car at the end of a charging session and try to
11 find another parking space in the middle of the
12 day on campus if you had home charging?

13 So these are more than opportunistic
14 chargers and commuters. These are people who are
15 treating the workplace as their primary source of
16 charging. And if you look at the weekend, we
17 even have people who visit us six and seven times
18 a week.

19 Another thing on the disadvantaged
20 communities, we have over 2,000 employees that
21 live in disadvantaged communities. And we have
22 special promotions for them to actually be
23 engaged in this program so they have not only
24 access to better parking, better opportunities,
25 HOV lanes, they travel further and so they have a

1 greater depth of charge during the course of the
2 day.

3 And this is where in proximity. The
4 bottom right in the dashed areas is the
5 disadvantaged communities of San Diego. And UCSD
6 is in the upper right. Programs, like the new
7 instant -- or prequalified voucher for the
8 California rebate is now commonly known as Cash
9 on the Hood. So these individuals can go down
10 and take that voucher with them and use it as
11 their down payment on an EV.

12 Another important part that I would like
13 to emphasize to this group as you look forward
14 into the Roadmap, and that is we are finding a
15 significant difference between the earlier-
16 adopter market and the data that they generated
17 in the usage pattern and the data from the early
18 mainstream adopters. And I think the gap is
19 widening. So any data more than three years old
20 on consumer behavior and charging behavior, I
21 would suggest, is now stale. Because these
22 people are behaving -- the people who own the
23 2018, the newbies, are behaving in a wildly
24 different fashion when it comes to their charging
25 behavior.

1 We have the ability to look at this. We
2 have a data sharing agreement with ChargePoint,
3 and so we have all the data for public charging
4 in the San Diego Region, noted by this map here.
5 We also have a relationship with EVgo where they
6 have provided us with two DC fast charging
7 stations, the data there, and PG&E, SDG&E, SCE
8 and LADWP service territory to look and analyze
9 the data, as well.

10 But again, I emphasize, the early
11 mainstream adopter market is wildly different
12 from the early-adopter market.

13 On ISO 15118, we installed 26 units back
14 in 2014 under a CEC Grant. That was the largest
15 demonstration in North America. And we're about
16 to install about 17 units with Innogy, which will
17 be the final protocol for 15118.

18 And then the ultimate electrification of
19 transportation is that we're bringing the light
20 rail to campus and it will be operational in
21 2021.

22 So what I wanted to share with you today
23 is the success of a workplace environment. If a
24 destitute public university can do this, so can
25 any other workplace employer. We find it as an

1 attraction to our employees that greatly value
2 it. We find it, also, companies who are
3 competing right now in the marketplace, their new
4 employees, attracting that quality employees, are
5 looking for this amenity of having workplace
6 charging. So it really covers the bandwidth of
7 high-end, all the way down to the lowest paid
8 employee at a workplace.

9 So it is happening. It is successful.
10 And I hope more workplace employers have -- go
11 from Field of Dreams to a Tiger by the Tail.

12 Thank you.

13 (Applause.)

14 MR. HARLAND: Thank you for that, Byron.
15 I hope we get through the presentations so we
16 have some time for some follow-up questions. I
17 know there certainly are some.

18 So, Doug?

19 MR. BLACK: Okay. Thanks Eli. And
20 thanks for inviting me here.

21 It's working? Great. Thank you.

22 So I'm going to be talking about our CEC-
23 funded project that just completed this spring.
24 We partnered with Alameda County. And we were
25 looking at kind of solving a problem that Alameda

1 County had in increased costs that resulted from
2 their efforts in increasing their electric
3 vehicle proportion of their fleet and their
4 providing public and workplace charging.

5 So similar, this is the same goals that
6 Byron was talking about. This, I want to point
7 out the Energy Manager of Alameda County, Phillip
8 Kobernick, has been a big champion in trying
9 to -- in the same ways that Byron described what
10 they're doing in San Diego, Phillip is trying to
11 do in Alameda in converting his fleet of county
12 vehicles to electric vehicles. At the time,
13 during our study in this, these numbers have
14 grown, but he had 40 plug-in electric vehicles
15 and plug-in hybrids, with the majority being pure
16 electric vehicles.

17 Wrong button.

18 So the primary area that Alameda County
19 has is their fleet vehicles is in a parking
20 structure in Oakland. In the basement, they have
21 about 20 Level 2 ports in the basement serving
22 those 40 vehicles, so that's a challenge for
23 their fleet staff. On two levels of the parking
24 structure, they provide Level 2 and Level 1
25 charging ports. And during our study, they added

1 a DC fast charging station. And Phillip may
2 challenge your trademark on the happy hour,
3 Byron, because he was calling it a fast charging
4 happy hour, as well, too, where he lowered the
5 rate from 7:00 to midnight. So you guys might
6 have a little ego battle there.

7 We also -- so our focus, what I'm going
8 to talk about today is focused on the public
9 charging, seeing as this was kind of a customer
10 experience. It could also come from -- and I
11 will touch on somewhat, too, the customer
12 experience as the charging station provider, as
13 the fleet owner. But primarily, I'm going to
14 focus on the controls and smart charging that we
15 implemented for the public, which could also be
16 considered workplace charging because those
17 stations served a lot of the Alameda County
18 workers.

19 Just to illustrate the cost problem that
20 charging created for Alameda County, the figure
21 on the left shows the whole facility, so that
22 entire parking structure, it's electric demand in
23 kilowatts, which was pretty flat, peaked at about
24 60. And then after installing and converting to
25 electric vehicles, installing charging stations,

1 their peak got to about near 120 and doubled.
2 And you can see the two peaks here are indicative
3 of the usage here. The morning peak is the
4 public and workplace chargers and the evening is
5 when the fleet vehicles are returning and
6 plugging in to charge. And those were all -- on
7 the right, that's all uncontrolled, before any
8 charging controls were put in.

9 So to drill down into the challenge of
10 the public or workplace charger, we looked at the
11 individual charging sessions for each user of the
12 charging station, so here are some examples.
13 Each bar is a charging session. The beginning of
14 the bar is when the vehicle plugged in. The end
15 of the bar is when the vehicle disconnected. The
16 dark portion of the bar is when the vehicle is
17 actively charging.

18 So the important things to look at here
19 and what's important to being able to implement
20 any kind of smart charge, any kind of control,
21 you know, the VGI controls to minimize demand or
22 to shift the charging, it's critical to either
23 have very repetitive or predictable or known
24 values for the disconnect time and for how much
25 energy is needed.

1 And in the upper left you can see, for
2 the most part, the amount of energy needed,
3 pretty consistent. This person uses -- you know,
4 drives the same amount, probably chargers
5 overnight at home, comes, charges, takes the same
6 amount of energy to just fill back up what they
7 used on their drive in. But when they depart
8 varies greatly. The example in the upper right,
9 the amount of energy that is consumed varies as
10 much as the departure time.

11 In the lower right is just an example of
12 just a little metric to look at for what the
13 flexibility is, so how much can we shift that
14 charging energy over the total plug-in period?
15 And so to have more flexibility, to provide more
16 grid services, to have more ability to lower
17 demand, you have to be farther to the right of
18 that histogram of the blue bars there of having
19 greater flexibility. That indicates a longer
20 plug-in time compared to the charge time. And
21 those things that, of course, would vary if you
22 had parking limits or you rotate vehicles. Any
23 of those things kind of limit how much
24 flexibility you have in shifting that demand.

25 So what we did here was create an

1 optimization algorithm that would take data from
2 all the charging stations to look at how many
3 vehicles were connected, which users were
4 connected, what their charging needs were, look
5 at and make a forecast of what the baseload would
6 be in the facility. And then given the amount of
7 time that a vehicle would be plugged in, and this
8 is all with -- the example shown here is all with
9 perfect information, so knowing exactly when the
10 person would depart, how much energy they need.

11 The blue line is without control. That's
12 the actual load without control. Each of the
13 rows is a charging session. The fleet charging
14 sessions are included here, too. Those are the
15 ones up in the upper right that go in overnight.
16 Public and workplace are in the middle hours from
17 7:00 to 7:00, 7:00 a.m. to 7:00 p.m. And you can
18 see how the dark portions of each row are broken
19 apart and spread out over the plug-in time. And
20 then -- and that's how we shift the charging
21 around, by sending new schedules to those
22 charging stations that match those patterns and
23 change the blue line to the green line and lower
24 the peak demand and lower the cost for the
25 facility.

1 So to be able to do that, though, we need
2 to know when drivers are leaving and how much
3 energy they will need because we don't get any
4 information from the vehicle. So we devised a
5 simple little text program that, when we would
6 detect, these are ChargePoint Stations, when we
7 would detect their user I.D. that as
8 participating in our study, we would send them a
9 text saying to go to the link that -- in which
10 they just could enter the two simple pieces of
11 information of when they're departing and how
12 much energy they would use with a little
13 pushbutton, too, of same as yesterday, to try to
14 make it as simple as possible because it is key.

15 And I totally agree with the number one
16 thing here is to not drive EV drivers away, that
17 we need to make any VGI, any interaction, any
18 interface that we have with the driver, that it
19 is simple and, hopefully, rewarding. So we came
20 up with what was a fairly simple way to do this.
21 And this is how we would collect our -- the
22 critical information.

23 Another piece that would be great to have
24 in this that we had no way of getting was to get
25 the state of charge from the vehicle.

1 Here's some examples then of the blue
2 lines. So in the upper left the blue line is the
3 actual charging that -- charging profile of one
4 vehicle that was following set points that were
5 determined by the optimization algorithm. We
6 went back into the -- and looked at the
7 ChargePoint session data and looked at what --
8 and recreated the -- what the charge profile
9 would have been had we not controlled it, and
10 that's shown in the red dashed line. So that's
11 not a real line, that's just what we gleaned from
12 the data and assumed would have been the charge
13 pattern and what would have been the charge
14 pattern in an uncontrolled setting.

15 So you can see, in that one vehicle,
16 which would have had a peak demand of six
17 kilowatts, its peak was two kilowatts spread over
18 a longer period. That one vehicle had an impact
19 on the demand of all of the charging -- all of
20 the public charging stations' demand, shown in
21 the upper right, and the -- what would have been
22 the red dashed line peak turned into the blue
23 dash -- the solid blue load profile.

24 In the lower left we see multiple
25 vehicles that were participating, multiple public

1 charging station users that participated, and the
2 change, the significant difference between the
3 red dashed, what would have been, charging
4 pattern and the blue pattern shifting from peak
5 period to mid-peak period to minimize cost. And
6 then on the right, showing that overall impact on
7 all charging stations that were active at that
8 time in the garage.

9 So our -- overall, what our objective
10 here was to do -- to prove this kind of
11 technology out, find a simple way to do this with
12 customers that was unobtrusive, not strand any
13 drivers, that was our real key which we achieved.
14 We also did want to demonstrate the cost savings.
15 We had a small sample here, a small set. We did
16 those over three months and we had a range of
17 only two percent cost savings in September, but
18 up to 16 percent just for public charging
19 sessions. That doesn't include the cost for a
20 fleet or DC or anything like that.

21 We did come up with a creative way to
22 look at -- to reduce the DC fast charging. In
23 addition to the happy hour, we would detect when
24 a DC fast charging session started. We would
25 reduce the rate of any fleet charging sessions.

1 Since they have the luxury of charging overnight,
2 we would reduce those and that would offset up
3 to, I forget, about 25 kW offset from the 40kW DC
4 fast charging peak.

5 One other thing we like to look at from
6 what we -- of how the smart charging that we
7 implemented across the board with fleet, DC fast
8 charging, and with the public and workplace
9 charging sessions is to look at both the
10 normalized amount of energy that was delivered
11 for electric vehicle charging at the facility and
12 the cost of electricity at that facility. The
13 cost is shown in blue and the total energy
14 delivered is in orange. So the total energy has
15 grown greatly and the costs have stayed
16 relatively flat.

17 I do want to point out one thing that
18 will make this maybe a plug for further research
19 that could be funded by CEC is that the change in
20 the peak periods will be -- will create different
21 challenges for even fleet chargers and charging,
22 chargers that can charge overnight that are
23 relatively simple now to schedule. It will
24 require some more sophisticated customer
25 engagement to do those shifts in the ToU peak and

1 mid-peak periods.

2 And I can answer your questions.

3 MR. HARLAND: Thanks Doug. All right.

4 So we're going to move on to Sam.

5 Sam, the mike that you're looking for is

6 near the WebEx station there.

7 MR. SAXENA: Cool. I'm going to make an

8 on-the-fly change, as well. On-the-fly change

9 made.

10 Doing a sound check. Presumably, you

11 heard that. All right.

12 I see several new faces in the room here,

13 so I'm going to spend a little more time on the

14 intro content that, for those who have seen me

15 give similar presentations, definitely Jamie, it

16 will be a recap for you. What I'm really going

17 to talk about is how can we create customer

18 experiences that delight and, through creating

19 those customer experiences, drive EV uptake and

20 grid integration?

21 So we are very fortunate to be at a time

22 where the EV ecosystem is vibrant. I mean, we

23 have entities, like Veloz, doing statewide

24 outreach in a whimsical manner, actually. I

25 really enjoy the Veloz advertisements. And we

1 have, on the opposite end of the spectrum,
2 stakeholders, EVSE providers, automakers creating
3 products that really kick ass. I mean, there are
4 some fantastic EV cars on the market. There are
5 some fantastic EV charging experiences on the
6 market.

7 And I think one of the tragedies is that
8 despite all of these efforts, I mean, across the
9 entire car-buying market, it's only about one
10 percent, two percent of sales that is EVs. And I
11 think Veloz is making a valiant effort to improve
12 that, and I think we need more of the same.

13 But I think one of the things that's also
14 a little bit under-addressed is the in between,
15 between what Veloz is doing in terms of raising
16 public awareness and what the automakers and the
17 EV charging providers are doing in terms of great
18 products. The process of deciding to provide a
19 car to actually, you know, getting that product
20 to be an EV is an area that I will especially be
21 focusing on here.

22 And you know, I imagine you've gotten
23 this on your phone before. And if you're
24 anything like me, it creates a great deal of
25 anxiety because all of a sudden I face the risk

1 of not being able to respond to an email from
2 Peter. And, gosh, I mean, what if I couldn't do
3 that, I'd be worried. Or, heck, even worse, if I
4 wasn't able to use my phone's navigation to get
5 home, you know, a form of stranding. But if you
6 get this in your car, big problems.

7 And now imagine if you're a fleet manager
8 and you got this on 50 of your cars today. All
9 of a sudden, you're having a really shitty day;
10 right?

11 Now the really tricky thing about the
12 customer experience is that through technology
13 solutions that are built into the products, into
14 the cars, into the charging stations, we can help
15 to mitigate this being avoided -- this being
16 encountered in real life. But the problem is
17 that simply having a perception that you're going
18 to have this problem scares a lot of people away
19 from even choosing those vehicles in the first
20 place.

21 And what's interesting is that when
22 someone is looking to buy a vehicle, whether
23 they're a car buyer or fleet, there's a deep set
24 of questions that they have to overcome, a deep
25 set of issues they have to overcome. I mean,

1 they have to overcome issues around, hey, is it
2 worth it for me to choose a greener vehicle? Is
3 range going to be a problem for me? How and
4 where will I charge this vehicle? Do I get the
5 Level 2 charger from my house or not? What if I
6 live in an apartment building and I can't charge
7 at home? Is it okay if I'm only charging at
8 Byron's charging stations while at work? What
9 happens if Byron parks in my parking spot and I
10 can't get that charging station today, am I okay?
11 You know is it okay if I'm charging only every
12 second day? On and on and on, right, because
13 these questions define sometimes the corner cases
14 that scare people away from choosing an EV.

15 And if you are a fleet manager, you've
16 got all of these questions and more because the
17 and more is also, hey, I might have 15 different
18 building locations that my fleet is traveling
19 between. How many of these locations should I
20 install a charging station at? How many charging
21 stations should I install there? What type of
22 charging station? What's this going to do to my
23 electricity rates? And more; right?

24 Complicated questions. It turns out to
25 be a lot simpler for someone to just say, you

1 know what, forget all this, I'm going to get a
2 conventional vehicle. And that happens a lot,
3 unfortunately.

4 Now our approach to overcoming these
5 problems is what we call the MyGreenCar platform,
6 which is a mobility-decision platform that
7 combines widespread data collection, physics, and
8 data-science-based analytics, and visualization
9 and attribution that gets tailored to different
10 types of audiences that are leveraging the data
11 and the analytics. The key enabling technologies
12 are that we've got vehicle physics models for
13 pretty much every car on the market, so we're
14 able to predict, using mobility data, using phone
15 data, using fleet telematics data, what would be
16 the sources and syncs of power and energy if
17 someone was driving around, not in the current
18 vehicle they're driving but in any car they're
19 thinking of buying, and where would that power be
20 coming from?

21 We've got almost 14,000 unique vehicle
22 physics models and have developed a pretty
23 streamlined process for being able to
24 mathematically formulate, calibrate and validate
25 vehicle physics' models. And, in fact, working

1 with the U.S. Environmental Protection Agency and
2 others, we've proven the validation of our
3 technical approach on over 2 million miles of on-
4 road data. So the technology foundation is
5 there.

6 But what's really interesting is when the
7 technical foundation gets packaged into a format
8 that can be used by people who are looking to buy
9 a vehicle. So for individual car buyers, we've
10 created the MyGreenCar app that allows someone to
11 install the app, choose whatever car is on the
12 market they're considering, drive around in their
13 current vehicle just as they normally would, the
14 app is automatically detecting when they're
15 driving and recording their trips and
16 calculating, hey, if I made the trip that I just
17 made but in any car I'm thinking of buying, what
18 would my costs be? Or if I'm considering an
19 electric vehicle, what would my battery charge
20 profile be? So to take a breather, I'm going to
21 take a break and let the video tell you what
22 MyGreenCar is.

23 (Whereupon, a video is played and not
24 transcribed.)

25 MR. SAXENA: Now for those who have heard

1 me talk about MyGreenCar before, the point that
2 we're at with it now is actually a really fun
3 point to be at because we've spent years
4 developing the underlying technology foundation
5 and the project has now shifted into the frame of
6 mind of what I'm talking about here in terms of
7 creating a delightful customer experience. You
8 know, we've brought product developers and
9 marketing professionals onto our team to help
10 take MyGreenCar to the next generation of, let's
11 call it, usability.

12 And on top of that, we've even shown the
13 substantial impact that virtual test drives like
14 MyGreenCar can have on shifting the uptake of EV
15 car buyers. We've shown, through behavioral
16 science studies, that there is a 45 percent
17 increase in people choosing an EV as their
18 favorite car after using this sort of virtual
19 test drive approach.

20 And, heck, given that it's got vehicle
21 physics' models for pretty much every car on the
22 market, we're able to attract people who aren't
23 even thinking of an EV in the first place.
24 Perhaps someone is, say, comparing a Honda Civic
25 and a Toyota Corolla and a Ford Focus as their

1 cars, Ford Focus conventional, as their cars but,
2 you know, there's no reason why we couldn't
3 simulate the comparable EV and show them, hey,
4 you know, if you considered an electric vehicle,
5 you could save 2,000 bucks a year. Oh, by the
6 way, there's \$12,000 of incentives available in
7 your area. So the power of being able to attract
8 a wide audience and then nudging them towards EVs
9 is a dimension that we're going into.

10 Now we've been very fortunate to get the
11 support of the California Energy Commission in a
12 recent EPIC award to take MyGreenCar into the
13 directions of helping fleet electrification. And
14 so in that direction, we have begun creating what
15 we call MyFleetBuy, to use M names again.
16 MyFleetBuy is allowing a fleet or fleet manager
17 to gather data on how their vehicles are driving
18 around, either using their existing vehicle
19 telematic systems or -- pardon me, fleet
20 telematic systems or using phone apps similar to
21 MyGreenCar. We allow them to choose whatever
22 vehicle they're considering for their next round
23 of fleet purchases and then allowing them to, you
24 know, see what that vehicle in their current
25 fleet operations would look like.

1 And so to give you a preview of what
2 MyFleetBuy is, here it is.

3 (Whereupon, a video is played and not
4 transcribed.)

5 MR. SAXENA: So given that we are at
6 October 30th and tomorrow is Halloween, I figured
7 I'd tell you about something that in our efforts
8 to do market discovery, we're very fortunate with
9 MyFleetBuy to have the support of CEC's Market
10 Facilitation Office, and so market discovery is a
11 big portion of what we're doing.

12 In speaking with fleet managers, we've
13 come to determine that infrastructure is a giant
14 pain in the butt because they're not really
15 willing to rely on public charging infrastructure
16 that might be available sometimes, might not be
17 available sometimes. They'd like to have
18 ownership of their infrastructure. Sometimes
19 they'll be leasing the buildings that they
20 operate out of, sometimes they won't be.
21 Sometimes they'll have electrical upgrades
22 required, sometimes they won't. And so the costs
23 of infrastructure a real obstacle to fleet
24 electrification.

25 And so that has been guiding where we're

1 taking MyFleetBuy forward from what you just saw
2 in the video. That's what's coming up for
3 MyFleetBuy. We're really focusing on helping the
4 fleet managers understand how many of what type
5 of charging stations do we need at which of our
6 locations for however many EVs we want to
7 purchase; right? And how will that ultimately
8 affect our electricity costs while taking into
9 account the various rate structures that they may
10 be exposed to and the demand charges that they
11 may ultimately be exposed to.

12 And what's really interesting is that you
13 can't predict all of this just through software
14 because there is a strong human element to the
15 decisions that need to be made. Questions around
16 should we upgrade our building infrastructure and
17 electric panels and so on allow you to say, for
18 example, get competitive bids from electricians
19 to, you know, help you see what the costs are
20 going to be? Well, that turns out to be a real
21 pain in the butt for fleet managers. It's a
22 distraction of their real job of having to run a
23 fleet. And so the headaches involved are an
24 obstacle.

25 So one of the real directions that we're

1 taking with MyFleetBuy is at least making it as
2 streamlined as possible for them to get the
3 information they need. Give them a walk-through
4 process of when I do get an electrician into my
5 buildings to give me price estimates, here are
6 the exact pieces of data that you need to get
7 from these electricians in order to make
8 decisions on how many EVs are we going to
9 purchase, how many charging stations do we need
10 at which of our locations and understand the
11 sensitivities around what your costs are going to
12 be. So that's where we're headed.

13 Now MyGreenCar and MyFleetBuy have been
14 around for a while. Over the past little while
15 we've measured some really exciting stuff, over
16 ten percent week-over-week growth rates in
17 MyGreenCar. Our fleet pilots are ramping up.
18 We've got the California Department of
19 Transportation, Alameda County and City of
20 Oakland as our three early pilot partners in
21 MyFleetBuy. And then lots of entities that have
22 supported us and, heck, even funded us towards
23 the different efforts that we're taking on.

24 And so with that, you know, to wrap up, I
25 think that driving the uptake of EVs and then

1 driving the uptake of grid integration, it really
2 requires a delightful customer experience to be
3 created in that entire process. In the entire
4 process of learning, hey, I want to buy a car,
5 say from the lows, being exposed to, hey, an EV
6 might be an option for me through to navigating
7 all of those issues we talked about.

8 And so one of the fun areas that we've
9 experiencing with is even creating messaging
10 around how can we attract people through these
11 processes. And so, the final video.

12 (Whereupon, a video is played and not
13 transcribed.)

14 MR. SAXENA: So with that, where I'll
15 leave off at is we are actively in a portion of
16 our efforts where we're seeking input. We're
17 seeking partnerships to drive the next phase.
18 Specifically related to our fleet efforts, we're
19 actively looking for partners in the corporate or
20 government sectors that are interested in
21 electrifying their fleets and navigating the sets
22 of issues that we're talking about here. And
23 also looking for partnership with EV and EVSE
24 solutions providers, OEMs and developers, so that
25 we can make sure that the tools that we are

1 building can help reduce any friction in your own
2 sales processes.

3 So with that, thank you.

4 (Applause.)

5 MR. HARLAND: All right. Thanks. Thanks
6 Sam. It's good to see our video system is
7 working well, too. In the building, it's all
8 interoperable; right? So --

9 MR. SAXENA: And it's better to be in a
10 place where I can just press the video and
11 control presentations.

12 MR. HARLAND: It just goes. Yeah.
13 Hopefully it works well for WebEx.

14 So next up, we have Carlos de la Cruz.

15 And, Carlo, we're just going to pull up
16 the questions we have here, so thanks.

17 MR. DE LA CRUZ: Good afternoon everyone.
18 My name is Carlo de la Cruz. And I want to thank
19 Eli, Matt and Noel for inviting, and the rest of
20 the CEC staff for having the Sierra Club at the
21 table. I guess we are the big green
22 representative to talk about what's happening on
23 the ground to communities. I want to thank not
24 only the other panelists but the other experts in
25 the room.

1 And just to get a sense of who is in the
2 room, I'm curious, by show of hands, who
3 represents or works for, is with an OEM, related
4 to, obviously, EVs? It could be the charging
5 infrastructure. And then who works with electric
6 side, power sector generation, utilities? I see
7 you. And then government agencies, regulatory
8 agencies? Hopefully not just CEC Staff. And
9 then out of genuine curiosity, who owns or
10 operates their own electric vehicle? So a fair
11 share. That's probably higher than the
12 California average. And then who does not own an
13 electric vehicle but has access to and still
14 utilizes the benefits of electric vehicles? Oh,
15 so I see a few hands. Are those electric buses of
16 electric trains you've been riding? I see a nod
17 of heads.

18 So the reason I wanted to do that small
19 exercise is that I think when we talk about
20 customer experience and customer relations, we
21 often fall back upon the historical notion of
22 what we think is the car user and the car buyer
23 as the individual user that has to either utilize
24 their car for their private use and
25 transportation usage and then, also, is

1 responsible for the refueling and the maintenance
2 of that vehicle. But I think when we talk about
3 electric vehicles, we really need to redefine how
4 we think of not only the vehicle as an end
5 product, but also how the user participates.
6 Because we often will try to equate the electric
7 vehicle as the new better product than what the
8 internal combustion engine vehicle has given us.
9 But I think when we talk about that type of
10 mobility and that type of customer-to-product
11 relationship, we really miss an entire market.

12 And I'll just say that today, I do not
13 have slides but I really wanted to go back to
14 basics and just make three points today, one
15 about equity and affordability, the second about
16 what kind of air quality benefits we can really
17 cogenerate, not just from the electric vehicle
18 users but communities that are situated next to
19 local air hazards, and then finally the potential
20 for medium- and heavy-duty.

21 And the reason I list these three is
22 because I think by limiting our conversation to a
23 typical electric vehicle owner or driver, we then
24 forget about the entire market, whether it's 97
25 percent of the market or, you know, the section

1 of the market that doesn't typically own or
2 purchase vehicles that is transit reliant, we
3 exclude these markets out. And although SB 350
4 has provisions around including and penetrating
5 disadvantaged community markets, there's still a
6 critical conversation that needs to be had around
7 what will it actually take to get there?

8 We have these goals under SB 350, under
9 SB 100, under other state legislation that
10 requires infrastructure and charging in state
11 parks and state schools, but what will it
12 actually take to get the low-income renter, low-
13 income homeowner to actually then participate in
14 not only the VGI, but also potentially vehicle-
15 to-home, vehicle-to-building exchanges.

16 And I think that is a really critical
17 piece because we shouldn't just think of equity
18 as the state requirement that we have to layer in
19 on top. It really should be the spice that we
20 bake into the cupcake, not just the frosting that
21 we put on top to make it look pretty. Because
22 equity as a pathway towards resiliency and
23 affordability really then allows us to think
24 about what are the barriers that prevent any
25 individual household or communities or fleet

1 operators as a whole to be able to enter this
2 market, to be able to participate in the benefits
3 that you can potentially accrue from VGI, V to
4 building, V to home. Because, frankly put, and
5 we all know this, that the electric vehicle
6 market of today and of tomorrow is not going to
7 be the same electric vehicle market in two years,
8 five years, or by the time the Olympics and
9 Paralympics come to Southern California and
10 California.

11 So 2028 is less than ten years away,
12 less, we're about to have the new year. And so
13 how can we think about where we need to get to in
14 ten years in terms of expanding the market for
15 those households and those communities who are
16 least able to afford some of these investments.

17 And the reason I mention that again is
18 because when we look at the utilization rates for
19 not only electric vehicle charging, home charging
20 and things like rooftop solar, it's not always
21 said but when you look at the analysis the
22 segment of the population that's able to benefit
23 and take advantage of those new technologies and
24 the rebates and the incentive programs around
25 those new technologies are also the same

1 populations that are homeowners, vehicle owners,
2 live in suburbs, do not live, typically, in
3 multi-unit development, in other words, are
4 already beneficiaries and recipients of other
5 state or public incentives and are already a
6 market that has lots of resources. So instead of
7 thinking, well, how do we get this segment of the
8 market that has so many resources, whether it's
9 the home that they own, the car that they own and
10 the rooftop that they're then able to lease, how
11 do we think about the other part of the market,
12 whether it's multi-unit developments that can be
13 aggregated into a microgrid that's also being a
14 participant?

15 So that's my point on equity and
16 affordability.

17 And I want to then pivot to air quality
18 benefits because we think -- when we think V-to-G
19 air quality benefits, I think most of us, myself
20 included, think of power generation, and what are
21 the emissions and what are the local air
22 pollutants that are emitted by power generation?
23 Well, fortunately and unfortunately, in
24 California, we are ahead of the curve. We have
25 disconnected most of our contracts from coal-

1 fired power plants. We are sunseting many of
2 the fossil fuel power generation on our grid.
3 And thanks to SB 100, we will eventually get to
4 clean energy generation for all of California.
5 That may not mean that we don't use either carbon
6 credits or offsets, but it means that our grid
7 will be much, much cleaner.

8 And so when we think about the co-
9 benefits for air quality and local health, public
10 health especially, we can't just think about the
11 power generation sector. We also have to then
12 think about the fuel refinement sector which
13 especially affects communities in Richmond, Long
14 Beach, San Pedro, which are adjacent to many of
15 the industrial uses and the industrial centers
16 that then not only, you know, not only produce
17 the fuels that are currently being used in many
18 vehicles, but then often have local effects to
19 the communities that surround them.

20 So by thinking of how we can electrify
21 and also bring industrial users as part of the
22 participants as for V-to-G, we can then think
23 about how can we electrify those sectors faster?
24 How can we electrify the heavy- and medium-duty
25 sector faster by adding a greater value use

1 proposition for those assets?

2 And the reason I'm bringing this up is
3 because I think, especially for the medium- and
4 heavy-duty, and then we think through what does
5 the medium- and heavy-duty market, buses and
6 trucks, what is it really comprised of? Is it
7 municipal fleets with garbage trucks, maintenance
8 vehicles, bucket trucks? Is it transit fleets
9 with large buses? Is it public school districts
10 with school buses?

11 And school buses are my particular
12 favorite example because if you drive around on
13 the weekend and you happen to find a school bus
14 depot, you could just see a parking lot full of
15 buses that just sit there non-utilized during the
16 weekends and also during the summer holidays.

17 And so if we can think about fast forward
18 to when school bus price point is as favorable as
19 the price point is for renewable energy right
20 now, we could see a world in which a lot of these
21 school buses will become electrified. Therefore,
22 how could the school buses themselves also act as
23 a benefit, not only to the school district but
24 also to local community that sits around that bus
25 depot? How can they benefit from either a

1 greater distribution, great load management or
2 backup power for when there is a brown outage?

3 And for -- I'm based in Los Angeles and I
4 work within the Southern California Region and we
5 have a lot of different actors in terms of our
6 power generation side. And it's an interesting
7 landscape because, although you can drive
8 seamlessly from one city to the other, the
9 utility that's behind that power and behind their
10 own plants for electrification, I won't -- I
11 wouldn't say that they're all up to the same
12 level, that we have some leaders and we have some
13 laggards. And so how can we think of V-to-G as
14 also a way to think about overall grid resiliency
15 and grid upgrades that we'll need for, you know,
16 the coming change, hotter days, more extreme
17 climate and more extreme weather anomalies that
18 potentially could result in disruptions to our
19 grid; right? So V-to-G technology allows us to
20 think about those issues while also thinking
21 about equity and affordability.

22 So I want to end on just one example on
23 why not only VGI but also vehicle-to-building,
24 vehicle-to-home could also be a pathway for
25 affordability and equity.

1 Many of us know that building
2 electrification and other types of
3 electrification for decarbonizing our economy,
4 that in some ways those are more far-off targets
5 because of the cost of being able to electrify
6 those sectors or those technologies. I really
7 believe that VGI or vehicle-to-building or
8 vehicle-to-home could be one way we could
9 actually make building electrification much more
10 affordable and accessible to a large segment.

11 There are already test programs and pilot
12 programs being tested now, everywhere from Japan
13 to Oahu to Maui. And one of my favorite
14 examples, actually, is from Maui, not just
15 because I have family on the island but, you
16 know, I think Maui is a great example because
17 it's an island. So unlike California and the
18 western grid, it doesn't have the ability to just
19 offload its power to a different grid network or
20 different user. So instead, Maui is really
21 constrained in where it has to figure out, how do
22 they use that energy? And obviously, as an
23 island with lots of natural resources and
24 environmental concerns, they don't necessarily
25 want to shift back towards fossil fuel

1 generators.

2 So they have a pilot program for V-to-H
3 called EV Ohana. It's a Maui demo project that
4 launched in 2011 and launched in two phases. And
5 it aggregated over 200 Nissan Leaf owners and it
6 gave access to 13 Level 2 chargers. And the
7 phase two of it, it also installed 80
8 bidirectional chargers and enabled vehicle-to-
9 grid and home power so vehicle-to-home, as well.

10 There are also other examples here more
11 locally. The BMW i-Charge 4 Project with PG&E,
12 which launched in San Francisco. And the reason
13 I mention this is because we often talk about
14 vehicle-to-grid integration as only the vehicle
15 providing the power generation side, where we can
16 also think of second-life batteries as providing
17 a bulk of that local generation. And that not
18 only has benefits in terms of waste stream and
19 avoiding more toxins ending up in our landfill,
20 but I think that can offset the load and the
21 discharge that we have on the vehicles
22 themselves.

23 Because I think is it aptly put, as Sam
24 said, none of us want to see a low battery
25 notification either on our car or on our vehicle.

1 Having driven electric vehicles many times but
2 not owning one, I definitely have that range
3 anxiety because I have access to electric
4 vehicles but I don't have access to charging at
5 home.

6 So think thinking about second-life
7 batteries as also part of the V-to-G and V-to-
8 home ecosystem can allow us to think of these
9 creative solutions, not just how the vehicle
10 relates to the grid but how do these assets
11 overall relate to the grid and the energy system.

12 So with that, I'll hand it over. And I
13 await your engaged and your questions.

14 MR. HARLAND: Those will be coming up
15 next, after Eric and Rick. So --

16 MR. BORDEN: (Off mike.)
17 (Indiscernible.)

18 MR. HARLAND: Yeah, you can initiate a
19 stretch break. I think that's a great idea.

20 (Off mike colloquy.)

21 MR. HARLAND: And, Eric, I think to move
22 the slides -- yeah, you got it there.

23 MR. BORDEN: So the joy of being on the
24 last panel of the second day, second to last, is
25 that most of my topics have been covered, which

1 is actually good in a way because I think it will
2 be more about emphasis and framing than
3 introducing new topics.

4 But one thing I'll remark on is that it
5 does seem like, you know, everybody is speaking
6 the same language. We kind of know what the
7 issues are. And that's a lot easier to deal with
8 than if we were all just completely talking about
9 different things and didn't -- you know, there
10 was no coherence, so that's positive.

11 So in case you don't know TURN, because
12 we don't participate as much as the Energy
13 Commission, we're a consumer advocacy group for
14 Californians. We primarily practice at the
15 Public Utilities Commission, so primarily on
16 utility regulation, applications, policy. We
17 work at the legislature. And, of course, we're
18 happy to be here at the CEC today.

19 So stepping back broadly, I think there
20 are two values that we're trying to capture here
21 when we talk about VGI. The first is system
22 values; right? And you know, again, this has
23 been talked about, shifting EV load to
24 particularly low-cost hours where you might have
25 solar over gen can save a lot of money. And to

1 build off what Carlo was talking about with
2 equity, I do view VGI as a way for all consumers
3 to benefit from electric vehicles.

4 It's not the only way but I think that's
5 the right framing in that, you know, I'll put it
6 a little bit differently, most of the subsidies
7 that have gone out for electric vehicles to date
8 have gone to wealthy homeowners and to wealthy
9 businesses; right? And that's -- that happens in
10 a lot of nascent markets. That happened with
11 solar. It happens a lot. But I think, really,
12 California can be a leader on how can all
13 consumers benefit from EVs, both financially and
14 from an environmental perspective? And that's
15 really the tact that we take; we want to see all
16 consumers benefit.

17 So there's the generation system values,
18 we've talked about those.

19 Less talked about, though mentioned
20 yesterday, are on the distribution system. And
21 the main one we think about is basically just the
22 local capacity values. I actually think this is
23 an area where people say, well, they're really
24 large, like utilities spend a lot of money. I
25 haven't seen -- you know, SMUD did a really good

1 study on their service territory, but those
2 values are going to change depending on the IOU,
3 depending on the scenario, depending on the use
4 case. And so I do think there's some work in
5 defining those values that we can gain from the
6 distribution system a little bit better.

7 That said, those values cannot be
8 realized today with how utilities do distribution
9 planning. And again this was mentioned, but the
10 way it works today, and it's the same with all
11 load, EVs aren't particularly discriminated
12 against of something, is that the utility sees
13 new EV load coming on and they're going to say,
14 well, if all of that charge is on peak, what is
15 my distribution system capacity need to be, and
16 they're going to build to that capacity. So even
17 if you're saying, well, EVs are really flexible,
18 we can shift away, we can use algorithms to shift
19 away from distribution peak, it doesn't matter
20 today because even if you do, the utility is
21 building new capacity and all ratepayers are
22 paying for that.

23 So I put as -- by the way, I use the term
24 technology loosely here -- I put as the key
25 enabling technology here is just people knowing

1 about this, which I'm glad it was mentioned
2 earlier, as well as data collection on, well, how
3 flexible can EV load be and do we really need to
4 building new capacity for it? You know, there is
5 the question, do we need some sort of regulatory
6 change? I think we need more utility
7 understanding. And I think we should all be
8 advocates for being able to capture this value.
9 So today, it can't be captured, but I think in
10 the future, we can hopefully change that.

11 Just stepping back again, there, you
12 know, there's been a lot of sort of complicated
13 talk, but I remember really see two primary tools
14 that already exist today as being able to capture
15 a lot of the VGI values that we talk about.

16 The first is demand response. I
17 particularly like demand response as a product to
18 capture these values because a lot of the value
19 is within a few hours of the year, whether you're
20 talking about the top 250 peak or the bottom 250,
21 you know, curtailment or over-gen hours.
22 Relatively, that a very small number of hours for
23 which you can send a concentrated price signal.

24 The other way to look at it is with
25 rates. I'm going to talk a little bit more about

1 time of use. But you know, it was mentioned,
2 Cindy Fang talked about yesterday, their VGI
3 rate. You know, that's a rate that builds in a
4 kind of demand response component where they're
5 looking at system peak and distribution peak and
6 sending out the price signal. One of the
7 interesting thought experiences with that rate
8 is, so let's say that that rate perfectly
9 incentivizes everyone who's on it to shift away
10 from their distribution peak; right? And so I
11 haven't seen any data, I don't know if that's
12 happened, but it's theoretically possible,
13 particularly because the prices are very high
14 during those hours.

15 So even if that happens, actually,
16 there's no cost savings to ratepayers, again,
17 because -- and what's actually happening, which
18 is sort of ironic, is that instead, if there was
19 a capacity upgrade, those costs are actually
20 charged to customers other than those -- than the
21 ones who caused it; right? So that just kind of
22 highlights the issue. But I do think getting
23 data from a rate like that will be really helpful
24 in crystalizing the distribution issue.

25 So I'll talk a little bit more about

1 rates. I'm mainly focusing on residential, just
2 due to time constraints. Commercial, obviously,
3 also really important, but we're making a lot of
4 progress, particularly with the IOUs. Here, the
5 major utilities are proposing EV-friendly
6 commercial rates or have already implemented
7 them, so we've made a lot of progress, so we can
8 move on to other problems.

9 So again, with time-of-use rates, we have
10 whole-house and EV-specific time-of-use rates;
11 right? So we don't need to reinvent the wheel.
12 However, we have very low uptake of the rates;
13 right? So looking at somewhat recent data, maybe
14 around 15 percent of Edison's territory drivers,
15 I don't mean to just pick on this and I think,
16 you know, it's probably around 20, 25 percent,
17 and presumably a lot of these customers could be
18 saving money on -- if they get themselves on the
19 right -- on the right rate. So like what's
20 happening there?

21 But I want to -- and the -- but one issue
22 with the rates is that a whole-house EV rate
23 might not be right for every customer. It
24 depends on their load profile. If you don't
25 drive a lot and you use a lot of usage during

1 time-of-use peak hours, we'd hate for folks to
2 get on an EV rate that actually made their bills
3 go higher; right? And the answer to that -- so
4 that's one issue.

5 The second issue is you hit some rate
6 design issues that I'm not going to totally
7 explain. But basically because when you comingle
8 the loads of a house and EV, it gets harder to
9 design the right rate. And so it all gets like
10 solved with sub-metering; right? The ability to
11 just isolate EV load and charge that rate.

12 And you know, I asked the question
13 earlier about sub-metering to a different panel
14 and I was a little bit surprised. I asked,
15 "Well, what should the state do?" And I thought
16 someone might say, well, they should just mandate
17 that this gets done. So I didn't hear that.
18 That's a little surprising.

19 But I can tell you what I'm hearing as an
20 advocate on this issue is you ask the charging
21 station companies, does sub-metering work? Are
22 your meters accurate? And they say, yeah, this
23 is like not that hard. We have the hardware. You
24 go to the utilities and they say it's impossible.
25 And they also sort of say that the billing,

1 the -- you know, anytime you touch a utility's
2 billing system, like red flags go up and like,
3 there's like sirens and it's like really scary.
4 And you know, there's sort of this thing, well,
5 if we do do sub-metering the costs are going to
6 be huge and it's going to erase a lot of the
7 benefits, and I think that's actually right.
8 Like if they said, well, it's actually going to
9 cost \$1 billion or whatever it is to do sub-
10 metering at a large scale, then it doesn't make
11 sense; right? Then we do have to do other
12 options.

13 And so from an advocates standpoint, you
14 know, I think sub-metering makes a lot of sense
15 because you want to charge -- first of all, for
16 the EV driver, they're going to be able to get
17 the lowest off-peak rate possible with an EV-only
18 rate. It doesn't make any sense to deploy new
19 utility-grade meters to every house that has an
20 EV, particularly when we think about in the
21 millions category. And so this seems to be an
22 issue that people sort of agree on but -- you
23 know, and I haven't been involved with the sub-
24 metering pilots. I know maybe Noel can tell us
25 all about that. But it does seem like one of

1 those things that should be on our radar that we
2 can like hopefully solve.

3 The other thing that -- you know, going
4 back to the low uptake, it's just about education
5 and outreach. It's not happening, I guess, at
6 this point. So I'm looking at a couple of things
7 coming up that -- where this could change.

8 The first is an updated low-carbon fuel
9 standard program which will provide a point-of-
10 sale rebate. This is going through a car process
11 right now and I think will come to the PUC. But
12 that seems like a place for me where the
13 automakers -- and I'm really hoping the
14 automakers take a role in helping to explain
15 rates.

16 The other issue is nobody knows what
17 cents-per-kilowatt means. They don't. I mean,
18 is it lower? Is it better than? You know, this
19 needs to be explained easily. And I'm hoping the
20 automakers can take a role, particularly if they
21 and the utilities, as well, are providing a
22 point-of-sale rebate where they can say, hey,
23 here's where you live, here's your utility rate,
24 and here's how much it could save you.

25 The other thing that's happening around

1 maybe late 2020 is all residential consumers,
2 except for low-income customers in hot climate
3 zones, will be defaulted onto house time-of-use
4 rates. That may be an opportunity where an EV
5 driver -- you know, where people are knowing what
6 rates are -- all the studies now say a lot of
7 people think they're on time-of-use rates now and
8 they're not, they're on tiered rates. And so
9 that could be an opportunity again to hopefully
10 get people onto the right rate.

11 So just taking a step back, this kind of
12 just summarizes, but, you know, I go back to what
13 I said in the beginning, I think all consumers
14 can benefit from EV adoption, both financially
15 and from an environmental perspective. And VGI
16 is one of these areas where it can flow to all
17 consumers.

18 So thank you very much.

19 (Applause.)

20 MR. HARLAND: Great. Thanks Eric.

21 Rick, you're up next.

22 MR. KUBIN: All right. Can everybody
23 hear me? That works.

24 (Off mike colloquy.)

25 MR. KUBIN: All right. So I am the last

1 speaker. I'll also tell you up front that I'm
2 actually not an expert in customer analysis and
3 other areas, but I've done a lot of work in
4 supporting customer systems and providing
5 analytics around customer activities, so I think
6 it's been an interesting exercise for me to go
7 through this.

8 I'll just explain a little bit about Grid
9 Democracy. So we were founded in 2017 and we're
10 providing consulting and advisory services into,
11 primarily, the energy space, but also the broader
12 IoT space. We focus right now, primarily, in
13 California and working with a number of startups
14 and trying to help them figure out how to
15 navigate into the energy space in California.
16 The utilities are typically very difficult to get
17 into.

18 So along the bottom there are some of the
19 entities we're working with. Power Ledger is a
20 blockchain energy company out of Australia and is
21 one of the -- considered one of the leaders in
22 the field. Clean Energy Blockchain Network is
23 their arm for supporting North America. Silicon
24 Valley Power is from the City of Santa Clara
25 Municipal Utility. I'll talk a little bit more

1 about them. Lecida is a startup that's focused
2 on advance machine learning for the IoT space and
3 been helping them see how they can help the
4 energy industry.

5 So when I went through this, you know, we
6 were kind of given these four questions. So I
7 took a crack at going through them, so I may end
8 up giving more questions to the questions than I
9 may provide answers. But it was a useful
10 exercise, at least for me, to work through them.

11 So around, you know, how do we account
12 for consumer behavior within utility grid
13 planning forecast? So I'm previously with PG&E,
14 so I have a pretty good understanding of how all
15 their systems work and how their processes work.

16 Consumer behavior is really influenced by
17 three primary factors: personal, psychological
18 and social. There's different mechanisms.
19 Again, I'm not a marketing, customer-focused
20 person but, you know, there's some fairly typical
21 ways to get information out of target markets.
22 The key thing that I picked up here is that, you
23 know, the market and the objectives around, you
24 know, EV proliferation and VGI are still very
25 nascent. And it's been pointed out a few times

1 here, you know, most of the sales to date have
2 been to higher-income, single-family-owned homes,
3 which is missing, you know, a huge portion of the
4 California market, and just many unknowns.

5 So I think my takeaway on this was that,
6 you know, need to look at trialling different
7 approaches and measure results and try to do that
8 collaboratively across agencies.

9 How effective are outreach and education
10 efforts? So you know, to date, from what I've
11 been able to see, outreach and education has been
12 pretty fragmented. You know, there's been
13 education and programs from some of the EV
14 makers, from some of the other entities, from
15 some of the utilities who have, you know,
16 promoted, to some extent, programs like LCFS
17 rebates, stuff like that. But overall I think,
18 you know, there's a lot of work that needs to be
19 done. And again, I think coordination across
20 agencies, utilities, cities, EV makers, EVSEs
21 really need to try to come together to make this
22 happen for California.

23 So around improving air quality and
24 pollutant emissions, specifically around
25 disadvantaged communities, I was talking with a

1 friend of mine who's working on some projects in
2 the Santa Barbara area. And one of the things
3 that was happening down there is the utility is
4 proposing to put in an additional peaker plant to
5 help support the additional load that's being
6 projected from EV growth. So that's, you know,
7 obviously not the best solution.

8 Again, don't necessarily have answers
9 but, you know, a coordinated approach that
10 includes distributed renewable generation
11 community-based-plus storage, in addition to
12 providing a charging infrastructure at the
13 community level, can go a long way to mitigate
14 and address those problems.

15 So the fourth question is where, you
16 know, I think I have more direct expertise around
17 technology. So the last 10 or 12 years, I've
18 been primarily working as an enterprise architect
19 putting together systems to address the needs of
20 the energy players. And I know the words are a
21 little bit harder to read here, but my
22 perspective is this isn't a lack of technology.
23 There's a lot of technologies that are available
24 or are in development that can achieve the
25 results that we're generally looking for, and

1 I'll talk a little bit more about that.

2 Part of the challenge, really, is having
3 a coordinated approach with clear policies and
4 economic incentives that promote collaboration
5 across the stakeholders, while also supporting
6 healthy competition. I know that sounds like
7 maybe a contradiction but, you know, a lot of the
8 discussion we've had as been around standards,
9 like 151180 -- or 8. And you know, I think
10 things like that are key in moving some of this
11 forward but still allow for competition within a
12 framework of standardization.

13 So kind at the center and hardware
14 levels, the EV makers, we've seen -- heard from
15 Honda. You know, they have equipment that they
16 can put into the vehicles, inverters, sub-
17 metering, et cetera. So you know, that
18 technology is not necessarily an issue. How to
19 pay for it and are consumers ready to pay the
20 increase for that, I think, depends on how the
21 customers can take advantage of that and how that
22 can be turned into potential cash flow back to
23 them.

24 You know, I touched on the integration
25 and data standards, so I'm also a proponent of

1 ISO 15118. I think, you know, a future where you
2 pull up to any charger, you don't have to pull
3 out a key card, you don't have to do anything
4 with your phone, you just plug your car in and
5 there's a handshake that happens and the charging
6 is based on smart contracts, which I'll go into a
7 little bit more detail.

8 Which brings me to the next one, around
9 blockchain technology. So there's been a lot of
10 hype around blockchain over the last few years.
11 I just came from another conference last week.
12 But you know, you hear about it solving world
13 hunger and all kinds of crazy claims. But from a
14 system engineering perspective, you know, I early
15 on kind of latched on to the potential of what it
16 brings to the table.

17 And I'm not going to go into detail on
18 explaining blockchain but just in kind of one
19 sentence. It has the potential to reduce
20 friction and costs for managing exchange of
21 value. And if you look at what we're doing
22 within the energy space, it's really all about
23 exchanges of value. So you have generation of
24 electricity that gets transferred to somewhere,
25 that's an exchange. You have an exchange of that

1 electricity into an EV, that's another exchange.
2 You have an EV that's potentially providing some
3 grid services back to the DSO. It could be DR.
4 It could be, you know, time-of-use and changing
5 charging characteristics, but it could be more
6 advanced, like frequency regulation.

7 So these are all what I view as micro
8 transactions. And current systems aren't really
9 able to support that level of complexity around
10 the administration and accounting and financial
11 tallying of that.

12 Blockchain offers a very unique solution
13 to be able to support those types of activities
14 in a way that has built-in security and other
15 things that make a lot of sense.

16 And then lastly on here, machine
17 learning. It's come a long way in the last few
18 years. You know, everybody, I think, is pretty
19 familiar with AI and its application with Alexa
20 and Siri and things like that. But there's a
21 whole element of applying advanced machine
22 learning to the IoT space. So sensor data and
23 being able to optimize around that data and also
24 provide predictions about, in this case
25 potentially, customer behaviors.

1 I just wanted to switch gears a little
2 bit and just kind of give an example of how, you
3 know, some new technology can come into play.
4 You've heard a little bit about the low-carbon
5 fuel standard. So we're working on a project
6 with Silicon Valley Power and Power Ledger to
7 bring a blockchain platform to bear on,
8 basically, tracking low-carbon fuel flows from,
9 in this case, Silicon Valley Power has got solar
10 deployed on the roof of a parking garage. They
11 have some storage battery capacity inside, then
12 they have 49 charging stations that are
13 connected.

14 So some of the new changes that are
15 coming within LCFS is the potential for having an
16 enhanced credit where if you can show that the
17 fuel pathway came from a low-carbon source, in
18 this case from PV generation, then you can apply
19 for this credit enhancement. So the question is:
20 How do you actually provide proof of that?

21 So this is a great application of
22 blockchain technology. So we're tracking
23 generation from tapping into the meters coming
24 off of the PV, and then accessing the API from a
25 ChargePoint chargers, then we can basically close

1 the loop on that. So you can see from the
2 numbers there that it's not an insignificant
3 market, so there's definitely some motivation
4 there.

5 This is one area where, you know, coming
6 from PG&E, I know how they applied the LCFS
7 Credit Program there. It was a one-time \$500
8 rebate to EV purchasers which really -- and I
9 think it was the same at So Cal Ed. I think
10 SDG&E was maybe slightly different. But I think
11 it's a disservice to their customers the way
12 they've done that because the credits are
13 actually accumulating on an ongoing basis, it's
14 not a one-time deal.

15 So being able to provide -- and the other
16 thing is smaller entities, like Silicon Valley
17 Power, just due to the overhead of working into
18 the system, and it's all manual, they basically
19 submit spreadsheets that get reconciled once a
20 quarter, is difficult for them to justify the
21 expense. So what we're giving them is an
22 opportunity to actually track this whole flow of,
23 basically, kilowatt hours, provide them with an
24 automated way to generate the report to claim for
25 LCFS credits. And then we're also in discussion

1 with the folks at CARB on actually tokenizing the
2 LCFS credits.

3 So rather than, you know, going through
4 this fairly onerous current practice of
5 collecting all the data and then using brokers
6 and having to go back and audit, and they
7 regularly go back and change their numbers based
8 on information they get, using a blockchain
9 platform to actually take care of all of that
10 would be self-auditing and it would take a lot of
11 the cost and expense out of the system and
12 actually provide a liquid market for the credits.

13 So kind of coming back to some maybe
14 summary perspective on some of the points, so I
15 think from a customer experience view, education
16 is really key. And I think what we want to do is
17 to, you know, convey to the citizens of
18 California that they can participate in the
19 vision of getting us to where we want to go with
20 EVs and greenhouse gases. Incentives and
21 pricing, you know, go a long way in promoting
22 that but, you know, policies do, as well. And
23 I'll talk, you know, a little bit more about how
24 we can maybe adjust some of that to address some
25 of the more disadvantaged aspects of the

1 population.

2 It's a simple term but, you know,
3 maximize customer value and minimize friction.
4 So you know, when a lot of smart home stuff came
5 out a lot of people kind of jumped onboard and
6 bought stuff and installed it and, you know,
7 looked at it once and twice, showed their
8 coworker, oh, look what I got here. And you
9 know, a week later they forget about it. And you
10 know, if they save a dollar or two, you know, on
11 their monthly electric bill, you know, they're
12 okay. If they don't, they don't care.

13 I think being able to maximize the
14 customer value so it actually becomes meaningful,
15 but in a way that minimizes the friction, so
16 again, blockchain technology has the potential to
17 allow you to establish smart contracts that
18 basically determine terms that you're willing to
19 trade under. So you could say that, you know, if
20 the rate goes down to this, you know, I'll charge
21 then for this period of time.

22 Similarly, if you want to offer services
23 back to the DSO or utility around DR or whatever,
24 that could also be accomplished through a smart
25 contract where you basically just set sliders to

1 determine what thresholds you're willing to
2 trigger under, and then the technology will go
3 ahead and calculate that and basically create
4 immediate reconciliation of the charges.

5 So this was just kind of my take on
6 trying to wrap my head around that, you know,
7 this isn't one set of customers. It's not one
8 set of customers. It's really a multi-threaded
9 set of entities. So you've got, you know,
10 private owners. You've got shared ownership.
11 You've got ridesharing, public transit,
12 commercial. And, you know, we haven't really
13 talked too much in the last two days about
14 autonomous vehicles. But you know, with the
15 advent of those coming on, you know, how is that
16 going to change, you know, what we're looking at?
17 I think there are still going to be some people
18 that will, you know, demand to own their own
19 vehicle. But I think we'll see more and more
20 shift towards shared vehicles.

21 And then from, you know, the population
22 demographic side, you know, talked a little bit
23 about, you know, the more affluent people in
24 single-family homes. I live in San Francisco and
25 I do own my home, but 70 percent of the

1 population there doesn't, so they're renters.
2 And their access to the charging is severely
3 limited. So you know, there's some new models
4 that are coming out that can address some of
5 that.

6 One of those that I'm familiar with
7 basically loads solar on the roof. They do
8 battery walls in the garage. And they have
9 something called an allocator that will allow
10 behind-the-meter flow of kilowatt hours from
11 those systems into the apartments, but also
12 feeding EV chargers which are not just open to
13 the folks in the building but can be accessed by
14 people that subscribe to their system.

15 So some, I would say, interesting ways to
16 kind of deal with the current situation with the
17 utilities that make some of this stuff difficult.

18 Similarly, with low-income and
19 disadvantaged communities, by moving towards
20 looking at putting in more community solar and
21 storage that are local, schools are a good place
22 to install chargers that could be used after
23 school or during school. And then, you know,
24 public and workplace charging, we've talked quite
25 about.

1 So just some recommendations. And this
2 is, you know, not just on -- this is kind of the
3 broader view and, obviously, my opinion
4 primarily. But I think the regulatory framework
5 here in California needs to support broader
6 changes in the roles that we have right now
7 between IOUs, public utilities, CCAs. You know,
8 some of what I'm seeing right now is there's
9 conflicts between CCAs and IOUs. The CCAs are
10 getting the customer touch, but the IOUs are
11 still responsible for the infrastructure and
12 billing systems. And trying to implement
13 innovative programs within that structure is
14 actually really hard.

15 And just, you know, when I -- it took me
16 about a year at PG&E to finally figure out how
17 they got funded. So through, you know, a three-
18 year general rate case process and trying to
19 understand how that all loads through, how they
20 actually did work, was -- it's a bit insane, I
21 think. So that's what I view as a cost-of-
22 service model where they basically tally up what
23 they think it's going to cost them to provide
24 electricity for the next three years and go to
25 the CPUC and get rates approved.

1 There's different ways to do it, so
2 moving towards more of a services- and value-
3 based-model where, you know, the ratepayers pay
4 for what they get, not for infrastructure that
5 they're saddled with. But you know, that takes
6 major changes from the regulatory perspective.
7 And you know, do -- you know, does California
8 have the appetite to do that? I think it will
9 happen in small steps.

10 Economic incentives are really needed to
11 address the major gaps to support rental markets
12 and low-income residents. And I think, you know,
13 a large part of that should be looking at
14 encouraging distributed solar and storage, along
15 with community charging.

16 It's also going to take a major social
17 and popular culture shifts. I think in San
18 Francisco, people are already embracing kind of
19 the fact that you don't need to own a car with
20 car share programs, with a great public transit
21 system, with electric bikes on the corners. But,
22 you know, I think the rest of the state has got a
23 long way to go.

24 So I think that that should be another
25 coordinated effort. So I think it's an

1 opportunity for the EV makers to work with, you
2 know, work with the state agencies, but also
3 other stakeholders, in putting together a fairly
4 common message that can be shared to help drive
5 people in the right direction.

6 The last point. So in my time at PG&E
7 and I supported a lot of EPIC projects through
8 the first two phases. And you know, my personal
9 perspective is that, you know, it's really not
10 the best model. It's better than nothing. You
11 know, going back to their funding model, you
12 know, they have no R&D budget. I came originally
13 from the high-tech space where, you know, you
14 have a 10, 12 percent R&D budget that you skim
15 off the top and that goes, you know, back into a
16 continual improvement. The utilities didn't have
17 that.

18 So the EPIC program was a way to help
19 them address that. But I think it could have
20 been -- there could be better coordination of the
21 objectives of that program, aligning them across
22 not just the IOUs but also the EPIC projects that
23 happened outside and really try and bring it back
24 into more of, I would, you know, maybe use the
25 term of, you know, kind of almost a sandbox

1 environment where some of these ideas could be
2 shared.

3 So there's some interesting work going
4 down -- going on down in L.A. that's quite
5 related. So the City of L.A. has partnered with
6 LACI, which is the L.A. Cleantech Incubator. And
7 they just launched a Roadmap activity which I
8 would recommend you folks take a look at, as
9 well. It's called Zero Emissions 2028 Roadmap.
10 And it's focused on actually accelerating some of
11 the objectives under the California state targets
12 to occur by 2028, which is when they're hosting
13 the Olympics.

14 So there's some new models where, I
15 think, we can borrow from the way things work in
16 Silicon Valley, the way technology has evolved
17 and iterated. And I think we need to embrace
18 that in a more holistic way and, really, to
19 support rapid, rapid development cycles. So
20 within kind of the agile model of software
21 development, they talk about fail fast. So you
22 have an idea, a concept. You put it to test, and
23 this typically happens with a one- to two-week
24 cycle. If it doesn't work, you make adjustments
25 or you throw it out and you continue. You know,

1 that's just not the mentality within the utility
2 space.

3 But I think to address the problems we
4 have in front of us, we have to take a different
5 view on maybe how we do some research and
6 development and how we fund it and, more
7 importantly, how we coordinate it across parties.

8 And that's it.

9 (Applause.)

10 MR. HARLAND: All right. Great. Thanks
11 Rick.

12 So I think before we open it up to the
13 audience questions, I bet everybody would
14 probably love a five-minute break. And so we'll
15 make that a quick five-minute break. We'll come
16 back. We'll do the questions with this panel.
17 And then we'll go through a couple more small
18 steps before we have a close. So thanks,
19 everybody.

20 (Off the record at 2:59 p.m.)

21 (On the record at 3:10 p.m.)

22 MR. HARLAND: All right, everybody, we're
23 going to get started. Doug's back, and Eric is
24 making his way back, as well, to the panel.

25 So I wanted to make sure we provide

1 enough time for the audience to be able to ask
2 questions of our panelists. And, unfortunately,
3 we did lose -- we did lose Byron. So if there
4 were any questions there, we're not going to be
5 able to follow up.

6 UNIDENTIFIED MALE 1: (Off mike.)

7 (Indiscernible.)

8 MR. HARLAND: Yeah, he may appreciate
9 that. I did have a couple questions for Byron.

10 But I did want to ask you, Sam, the apps
11 that you're developing, what is the, I guess,
12 like the uptake -- well, we saw the uptake
13 numbers, but how do folks find out about this
14 app? Is this something that dealerships are
15 using or places where vehicles are being sold or
16 purchased? Or, I guess, kind of how are you
17 getting it out there?

18 MR. SAXENA: You're asking a question
19 that is subject to a few NDAs. So if I told you,
20 I'd have to kill you and I don't want to do that.
21 So I'll speak in vaguer terms than that.

22 So it's, I would call it, a multi-pronged
23 approach. So our partners that are driving the
24 commercial uptake of MyGreenCar have just very
25 recently started their online marketing

1 campaigns, Facebook ads and otherwise,
2 quantifying their costs of user acquisition. And
3 they've actually recruited some really cool
4 brains to bring to that operation. I think they
5 were able to recruit the former marketing
6 director of Senator Harry Reid's first election
7 campaign to guide some of their efforts. So
8 online marketing is one broadly-applicable
9 strategy.

10 Partnerships is another strategy that is
11 being pursued. And there's been, I mean, for
12 example, the NRDC had a really cool blog post
13 surveying many solutions in this space. And so
14 partnerships and cross-promotions is another.

15 And finally, to the, you know, speaking
16 of dealerships, automakers and others, I think
17 that white labeling is a very open strategy
18 that's being pursued. And so working with, let's
19 say, the big guns in this space, the OEM
20 automakers, the EV charging manufacturers and so
21 on, is a path forward.

22 MR. BORDEN: (Off mike.) (Indiscernible)

23 MR. SAXENA: As in taking the MyGreenCar
24 branding off of the app and putting the turn
25 branding on it.

1 MR. BORDEN: (Off mike.) (Indiscernible)

2 MR. HARLAND: Okay. And, Rick, I was
3 going to -- I wanted to ask you a question about
4 the blockchain. The example you provided was for
5 what sounded like behind-the-meter resources that
6 are used to charge the vehicle. And I just
7 wanted to just quickly understand if that sort of
8 accounting and ledger can be used for, I guess,
9 the system as a whole or system larger so that
10 you can account for and track the color of the
11 electrons, I guess?

12

13 MR. KUBIN: Yeah. So the proof of concept or
14 the pilot that we're doing with Silicon Valley
15 Power, we're actually tapping into their existing
16 meters. So it's not behind the meter, it is the
17 meter. And then -- so we're measuring the
18 kilowatt hours that are being generated by the PV
19 into the local grid. And then we're pulling from
20 the ChargePoint chargers the charging session
21 data for the amount of energy that's put into the
22 vehicles.

23 MR. HARLAND: Okay. And I guess it
24 relates a bit, I guess, Eric, to this follow-up
25 question I had, but your point about the VGI, its

1 ability to bring benefits to all consumers from
2 the adoption of EVs, I was hoping you could like
3 unpack that a bit and kind of talk about what
4 those -- that spectrum is of benefits, I guess?

5 MR. BORDEN: Well, I don't think it's as
6 complicated as that may sound. It's just, I
7 mean, there are two main financial benefits from
8 EV adoption that effect ratepayers. One is
9 getting more load on the system and spreading
10 costs across that load. Some people refer to
11 that as downward pressure on rates, so I didn't
12 talk about that, but that's one good potential
13 way for all ratepayers to benefit.

14 VGI is a little bit separate where your
15 capturing values from the electric vehicles out
16 there based on when they charge. So for example,
17 I think the study that's been cited today and
18 yesterday, you know, well, I'll say in the IRP at
19 the CPUC, they've quantified some of this and
20 they've said, well, if we shift EV load into
21 times when solar would be -- would have to
22 curtail, we don't have to buy as much solar and
23 we don't have to buy as much storage; right? And
24 so we get those, so that's another value that all
25 consumers would benefit from. So those are the

1 financial benefits.

2 And then environmentally, everybody can
3 benefit with cleaner air.

4 So I think those are the main -- the
5 primary consumer benefits that I think about.

6 MR. HARLAND: Okay. That's helpful.
7 Thanks for unpacking that.

8 And I wanted to turn it to the audience.
9 So we do have roving microphones. And we're at
10 about like 15 minutes or so before we wanted to
11 start the -- before we wanted to end the panel
12 and go to the next one, so hopefully we can keep
13 it contained, but we'll see how it goes.

14 MR. TAYLOR: Hi. Dean Taylor, Southern
15 California Edison. My question is primarily for
16 Eric.

17 First off, thanks for noting that, you
18 know, current grid planning is -- there's really
19 on savings there because we design for worst
20 case, you know, scenarios. So, in fact, SMUD
21 did -- I think I mentioned this yesterday when I
22 was on a panel -- SMUD did this study where
23 that's the huge potential, is just buying lower-
24 level charging equipment is where you can huge
25 savings and, you know, literally five, ten times

1 more savings than you can get by soaking up this
2 extra solar or shifting to, you know, nighttime
3 charging.

4 That said, so everybody's talking about,
5 well, how do you get more value out of the
6 distribution, you know, system? And I guess the
7 question is: How far do you want to go? Because
8 there's -- just take residential rates; what
9 people don't realize, it's for the entire system
10 and there's very different costs to serve, let's
11 say desert customers versus coastal customers.
12 Transformers are big out in the desert yet, you
13 know, the coast tends to have old 4-kV circuits
14 that need a lot of upgrading. And there's varied
15 difference in serving a small, little apartment
16 complex for a senior citizen or a low-income
17 person and a big, giant, you know, house. But
18 that isn't reflected in our rates today.

19 I mean, so there's -- and even when you
20 get over on the commercial side, there may be
21 huge differences but we have 4,600 circuits, you
22 know, so there may be, you know, you're going to
23 punish those circuits that are right near the
24 edge where they need an upgrade and charge them
25 higher rates.

1 So how -- there's huge equity issues.
2 I'm trying to extract, you know, this value out
3 of, you know, this potential distribution system.
4 So how far do we want to go in that, is my
5 rhetoric question?

6 MR. BORDEN: Well, I think that's a
7 little bit of a different framing. I think,
8 first of all, we need to reflect that EV load is
9 and can be flexible. Let's say that you, as a
10 utility, have years of experience of customers on
11 a ToU rate that are shifting their customers off
12 peak and you're showing that you don't need to do
13 distribution upgrades or them. At what point do
14 you trust that they, if they're on a ToU rate
15 that they're going to shift off peak; right?

16 So that's just valuing the flexibility
17 that the EVs are showing, not necessarily sending
18 some -- a perfect granular price signal, like I
19 talked about with the VGI rate. And I think
20 that's what you were kind of eluding to, which is
21 sending a specific demand response-type price
22 signal to every customer based on their circuit.
23 That's one way to do it. I agree, I think I see
24 that more in the commercial space as viable. I
25 think maybe it could work for some residential

1 customers. But I think I was more thinking about
2 the inherent flexibility that we already see from
3 EVs, just incorporating that into distribution
4 planning could get us a lot of the way there.

5 MR. WHALING: Yeah. Jeremy Whaling from
6 Honda. A question for Eric, as well.

7 Along those same lines as what Dean said,
8 but -- so you have -- you said, you know, you
9 really like demand response because you get a lot
10 of value out of a few hours out of the year. But
11 I wonder with some of that is, you know, maybe
12 the peak times are changing and everything like
13 that, but in general, you know, with ToU rates
14 and things, customers are already going to be not
15 charging their car during that time, so how much
16 value can be really be assessed if the cars are
17 already not charging and you're -- essentially,
18 then what are you -- are you going to pay them to
19 continue to not do that? Or it seems like they
20 already will do that, so --

21 MR. BORDEN: Well, that's great. I don't
22 know that that's a fait accompli, that that will
23 necessarily happen.

24 EV customers, I think this is a really
25 interesting question because default ToU is

1 coming, so residential customers will be on a
2 default ToU rate. You're assuming that because
3 they're on that rate and have an EV that they'll
4 follow that load signal. But all the data we
5 have to date is about customers who opt in to a
6 ToU rate. So that's a different mindset and
7 it's, hopefully, a more mass group of customers
8 that we're reaching with EVs and not just the
9 energy nerds and the people that are really into
10 time-of-use pricing and just people who, you
11 know, want to drive a cool car. And so I think
12 that's an open question.

13 Now to the extent that you're right, that
14 everybody's just shifting off peak and there's,
15 you know, nobody -- and there's no problems
16 there, that's great. But I don't see that as a
17 like 100 percent guarantee at this point.

18 MR. WHALING: But, I mean, if you can't
19 get them to ToU, how are you going to get them on
20 DR? Isn't DR like an even further step? Unless
21 it's somehow mandatory or something.

22 MR. BORDEN: Well, so this is a place
23 where I had on that slide where I showed the two
24 tools. The main players, I think, for DR are the
25 utilities and demand response aggregators. I

1 would actually love to see demand response
2 aggregators. You see it a little bit in the
3 residential space with companies like OhmConnect.
4 eMotorWerks is doing -- they're not really a
5 demand response aggregator but they make
6 chargers -- they sell charging stations.

7 And so I think the main obstacle to that
8 market at this point is that there's not enough
9 EVs on the road. But to the extent we get a
10 competitive market with a lot of demand response
11 aggregators who are going around and saying, like
12 OhmConnect, you know, hey, if you participate
13 during these times, we'll pay you this money,
14 yeah, I think those values are there.

15 MR. WHALING: I mean, I just further want
16 to highlight, though, it's like, you know, I had
17 OhmConnect and you get a lot of hours and stuff
18 in p.m. But, you know, half the time, I wasn't
19 actually home. So you end up having a case of,
20 you know, does the -- if the EV isn't home and
21 you had a DR event, did it respond? So you kind
22 of have some of these cases where it's like --

23 MR. BORDEN: No.

24 MR. WHALING: -- you know, it's like if
25 the tree falls in the woods, you know, and

1 there's nobody around --

2 MR. BORDEN: Right.

3 MR. WHALING: -- does it make a sound?

4 MR. BORDEN: Well, so -- but, you know,

5 and I'm not saying that one business model over

6 the other. My only point was that demand

7 response is a really good tool to get to the

8 values that we're talking about. I think that's

9 what I was saying.

10 MR. WHALING: Okay.

11 MR. BORDEN: I wasn't necessarily saying

12 that all EV customers are going to be super

13 interested in demand response. I think that's

14 something that we need to work on.

15 MR. WHALING: Okay. Thank you.

16 MS. MCDOUGALL: Hi. Pam McDougall from

17 NRDC. I'd first like to thank all of you for

18 being here and for representing the customer, who

19 is often lost in the VGI discussion. So I'm

20 really happy that you're here to represent them.

21 I just want to think a little bit farther

22 in the future and like kind of dream big, because

23 we are here at like a Roadmap discussion. Let's

24 imagine that we have the millions of EVs on the

25 road and our buses are electrified and our public

1 transport is all electrified. How -- what
2 policies do we need to put in place or do you
3 suggest that we put in place so that we see that
4 the value of VGI actually makes it down to the
5 customer? I'm not talking about just the EV
6 driver, but also somebody like myself who isn't a
7 car owner but a public transit user? Like how
8 can we make sure that these buses that are doing
9 VGI, the value makes it down to that person that
10 is using that service?

11 MR. SAXENA: So you're in the dream-big
12 space, which is also a space that one can be
13 dangerous in. And I'd actually like to respond
14 with I think that the low-carbon fuel standard is
15 a really good starting point in that direction.
16 Getting the value all the way down to the end
17 customer, I think, is still a tricky thing.

18 To give an anecdote that I heard about at
19 the fleet expo, the ACT Expo. I think this was
20 actually from an L.A. County speaker. There is
21 like, apparently, opportunities for fleets to
22 like just directly put in for getting rebates
23 through the low-carbon fuel standard, but like
24 the vast majority don't even know about it. It's
25 like this untapped opportunity.

1 And so I think that things like the LCFS
2 are a great starting point. But the
3 accessibility of the LCSF -- LCFS is, I think,
4 still at the high level that needs to be
5 addressed. So that's my first-cut answer.

6 MR. BORDEN: I mean, one of the biggest
7 values that is going to accrue to individual EV
8 drivers is savings on gasoline. So how do we get
9 that? Well, first of all, it depends on what the
10 gasoline price is in your future. But we're
11 going to get to the lowest electricity prices if,
12 one, we keep utility costs in check and, two, we
13 get sub-metering to let people charge at low
14 price off peak. So that value will come to the
15 EV driver. How big it is depends on gasoline
16 price and electricity price.

17 Let me think about the second part of
18 your question.

19 MR. DE LA CRUZ: Yeah. I'll just add
20 that I'm typically involved in a lot of
21 discussions around how do we electrify certain
22 industries or certain sectors that are pretty
23 resistant to it, not necessarily because of
24 environmental or ideological concerns but because
25 of price points and economics. And in

1 California, we pay higher energy costs than some
2 other Pacific states, notably the
3 Washington/Pacific Northwest.

4 And you know, I'll also share an anecdote
5 from a recent conference. L.A. Metro was the
6 host of the U.S. Zero-Emission Bus Conference.
7 It included many transit operators from across
8 the country either looking to electrify or doing
9 projects. And they were sharing anecdotes about
10 challenges they were seeing on the ground. It was
11 a really interesting portrait of where we are in
12 America in terms of electricity prices. There
13 was an audible gasp in the room when the fleet
14 manager from Washington talked about how little
15 they pay for electricity. And of course, that is
16 part of the advent of hydroelectric, cheap
17 electricity in the Pacific Northwest.

18 But I bring that up because I think at
19 the end of the day, our electricity market is
20 also driven by policy in that we can choose as a
21 state and as the fifth largest economy to
22 subsidize certain electricity prices. And we
23 already do that, either for residential or
24 industrial users. And so how can we think of
25 whether it's a VGI application or really getting

1 the benefits of electrification down to the end
2 user. I think we need to think holistically
3 about energy costs and electricity prices.
4 Because if many of these industries are saying
5 that, well, we would love to electrify if it's
6 just wasn't for the cost of electricity. And,
7 you know, right now the fuel is at parity with
8 our electricity, so why should I electrify and
9 spend all these millions of dollars
10 infrastructure? If we can start sending the
11 price signal from that very basic point, I think
12 we can see a pretty staggered effect.

13 I'd also add that I think in that future
14 where everything is electrified and we have 30
15 million EV passenger vehicles on the road, we
16 still need to see really robust coordination from
17 all players, from the local utilities to the
18 regional -- the regional actors, the aggregators,
19 as well as to the consumer, software interfaces.
20 It really should be a seamless end-to-end. And
21 the same way that we've come to expect that no
22 matter what city in California you go to you
23 could open up your app and if it's serviced in
24 that territory, you can either require -- request
25 a Lyft, an Uber, maybe even an electric scooter.

1 And that type of interoperability across the
2 region and across the state, we need to begin
3 seeing that on electric vehicle, and the VGI
4 side, as well.

5 MR. KUBIN: Just another aspect of that
6 is from an economic perspective, if we're looking
7 that far in the future, we're not actually buying
8 exported fuel or imported fuel. So we're not
9 sending dollars out of the state to the same
10 extent that we would have been if we're importing
11 fuel from the, you know, Middle East or wherever.
12 So there's dollars that potentially stay within
13 the state. There may be some reduction in tax
14 dollars from sale of fuel. But I think that's
15 more than made up for by the fact that there's
16 going to be jobs created around the whole
17 industry of electrification and, I think, support
18 around that that everybody will benefit from.

19 MR. BLACK: Yeah. I think that -- I
20 don't know if you're ever going to -- well, I
21 shouldn't say ever going to see, but it's hard to
22 see that there's going to be an individual
23 benefit, like you, as an electric transit user,
24 to see an economic benefit, like a reduction in
25 your -- you know, how much it costs you to ride

1 the bus. But it's going to enable VGI. It's
2 going to enable, you know, maybe bring down costs
3 for those buses, enable greater storage that
4 enables greater clean power, you know, the larger
5 societal benefits. You'll breathe cleaner air
6 when you're out on your trail runs.

7 MR. SAXENA: I remember seeing this
8 presentation a while ago from Lyft's director of
9 sustainability on how one of the directions
10 they're pursuing in the long run is integrated
11 billing across many things. So, for instance, I
12 take a shared bicycle from my home to the Metro,
13 jump on a train, you know, get to the other side,
14 and then take a shared ride to my -- you know,
15 wherever I'm going. And that whole process not
16 involve bus tickets and multiple apps and
17 multiple platforms and the change in my pocket
18 just like all be integrated into one app, and
19 Lyft happened to be talking about integrating
20 that as a long-term direction into their
21 platform.

22 And I think, ironically, the like --
23 pardon my French, but all the shit we have to
24 deal with to make VGI actually happen, like all
25 of the billing integrations, all of the counting

1 of electrons going this way and that way, you
2 know, happens to be the similar type of stuff
3 that has to be dealt with for like these
4 integrated billing problems that you, on a daily
5 basis, will be like, oh, thank God I don't have
6 to carry change in my pocket anymore. You know,
7 I think that those types of like delightful
8 customer experiences could fall out really
9 effectively.

10 MR. CRISOSTOMO: So I have a question,
11 maybe connecting Doug's demand response solution
12 with what Rick and Eric were talking about in
13 terms of leveraging sub-metering to maximize
14 flexibility and use it in a more seamless fashion
15 for accounting. So maybe, if you could, bear
16 with me and kind of brainstorm.

17 To that point from Pam, how solutions
18 could look in the future to allow for like
19 maximization of savings versus gasoline, because
20 it seems like we're kind of touching upon the
21 need for better solutions than what was available
22 at ALCO (phonetic), better solutions for
23 utilities when it comes to their billing systems.
24 And it's hindering some of the benefits to
25 society at large, ratepayers, and greenhouse gas

1 emissions.

2 Do you guys have an idea of how what you
3 heard today could work better together to the
4 point of coordination?

5 And maybe a final point directed at Eric.
6 Would you be, as a ratepayer advocate, willing to
7 consider what I was describing as 21st-century
8 billing systems for the utilities so that they
9 could do that better integration of sub-metered
10 loads, connecting APIs across back ends of EVSPs
11 and aggregators much more simply? Would you be
12 willing to be okay with that as an advocate?

13 MR. BORDEN: As with all my work, it
14 comes down to what are the costs and what are the
15 benefits? If a utility, again, if a utility
16 comes and says it's going to cost a billion, two
17 billion, whatever, and I mean, when you add up
18 all the costs, as we all know, with a utility,
19 like it's not always what it looks like, if those
20 erase all the benefits, why would I support that
21 as a ratepayer advocate; right?

22 So it depends. Like, I mean, it's crazy,
23 like literally for a lot of companies \$1 million
24 would be a lot of money; right? So if a utility
25 came and said we could do this for \$1 million, it

1 probably wouldn't be a big deal.

2 So you know, I hope that maybe the CEC
3 should take on some kind of bridge role here.
4 But I do think that we need to investigate, well,
5 what are those costs and are they manageable
6 enough that it actually makes sense? Is that
7 fair?

8 MR. CRISOSTOMO: (Off mike.)
9 (Indiscernible?)

10 MR. KUBIN: Yeah. So blockchain
11 technology could support the measuring and
12 transacting of, again, what I would call micro
13 transactions that support that value. And it
14 could be, you know, micro transactions to, you
15 know, if you were doing peer-to-peer energy
16 trading, you know, micro transaction back to the
17 DSO or the utility for use of their
18 infrastructure. So there's different ways of
19 defining and rewarding that value. And you know,
20 blockchain has the capability of doing that in a
21 way that is pretty low cost compared to a
22 traditional billing system.

23 But the question comes back to how do you
24 integrate that into what's already there? And
25 you know, a comment was made earlier about, you

1 know, PG&E's billing system, and I'm pretty
2 familiar with that. And, yeah, if you want to
3 bring up a new program that impacts the billing,
4 it's generally shut down, you know, without a
5 question because it's just a non-starter.

6 I think there's other utilities that are
7 maybe in a better place. But, you know, it's a
8 massive undertaking to replace that. And you
9 know, in the current funding model, you know,
10 they would have to apply for that as part of the
11 general rate case and it would be, you know,
12 definitely not \$1 million. It would far, far
13 north of that.

14 So I don't know. Under the current
15 model, I think it's difficult. I think there's
16 possibilities of how you might return that value
17 to the customer without having to do it through
18 their bill. And again, that could be done
19 through some kind of a tokenization that would be
20 returned to them that they could exchange for
21 something else.

22 But, yeah, the incumbent utilities, the
23 IOUs, are all pretty tied into their current
24 infrastructure which was, you know, not designed
25 to support all these new programs.

1 MR. BLACK: So the technologies are
2 definitely there. The blockchain can track and
3 tokenize.

4 I think one of the key things that we
5 really all need to address, though, or figure out
6 is what values are you going to assign to it all?
7 That's still a whole huge open question, what
8 really the value is, and what is the value to the
9 distribution system? There isn't a clear. You
10 know, in the wholesale, there are market and
11 market prices we can look at and things that give
12 us some indication. There's still some open
13 things there, too. But especially at the
14 distribution level, we don't really know what the
15 values are and that's, I think, something we've
16 really got to start addressing.

17 MR. KUBIN: Good point

18 UNIDENTIFIED MALE 1: Hi. This is Karim
19 Farhat from PG&E.

20 So just to address one comment that was
21 made specifically about the PG&E billing system,
22 quoting it, it was I, from my experience, I did
23 not see a single program that got automatically
24 shut down. I think that's a little bit severe
25 and harsh language. All the programs at PG&E get

1 evaluated very objectively based on their
2 benefits and their costs to our customers. So I
3 just wanted to clarify that.

4 The second point, sorry, the second point
5 is also related to the billing. And I'm just
6 going to make this a very broad comment, which is
7 that while I fully appreciate the fact that we
8 need to enhance the customer experience, I think
9 we might be convoluting two points, which is the
10 fact that we need to make the billing easier and
11 the fact that the billing or the assumption or
12 the assertion that the billing has to happen
13 through the utility. These might be two
14 different points. Like I think everyone would
15 agree that you would want to have a smoother
16 billing experience. Then there's the question
17 about who is going to be handling that billing
18 experience? I think that's still an open
19 question.

20 MR. KUBIN: I'd just like to apologize if
21 my statement was a little too, too broad on PG&E.
22 And I know they've done some great work on some
23 of the DR programs and some of the other things
24 that they have now. So I apologize
25 (indiscernible).

1 MR. BORDEN: I just had one comment
2 before I -- I think, also, so it's -- I'm not a
3 billing system expert so I can't speak to
4 everything that they're dealing with on the back
5 end. But I do think that there's probably an
6 opportunity to move incrementally; right? So
7 let's get 100 EVs. Let's go to 200. And then
8 maybe those solutions become more scalable,
9 versus right now we're just stopping at
10 essentially zero and saying, well, it's too hard.
11 And so maybe this is an area where we can scale
12 up over time. But, you know, again, I'm not sure.

13 MR. TAYLOR: Hi. This is Dean Taylor,
14 Southern California Edison.

15 So there are some utilities that are
16 doing these alternative approaches. So Los
17 Angeles Department of Water and Power and ComEd
18 give you like using like ChargePoint or other
19 people's billing or metering, they're giving you
20 a rebate for, at the end of the year, for how
21 much you're using off peak. So that's an example
22 where you could use things, somebody else's
23 metering.

24 The other one is the low-carbon fuel
25 standard starting in January will have these

1 incremental credits. They're, frankly, kind of
2 geared towards automakers, using telematics
3 because they have to go over VIN numbers. But
4 that's another way of using, you know, time-of-
5 use, getting incremental things based on carbon
6 reductions going cleaner than. You know, the
7 grid gives you 80 percent last, but you can get
8 even more reductions in carbon by charging at
9 different times. So that's another way. And
10 that does not require utility-grade, you know,
11 metering. And in the future, depending on what
12 CAISO does as far as things, there may be
13 opportunities there for aggregators also to not
14 have utility-grade metering.

15 The original purpose why we have, you
16 know, high costs for separately metered was
17 because we used to, in the '90s, have these dual-
18 meter adapters which were rather cheap. But the
19 problem was that none of them were never UL
20 certified, so we ripped out like 1,000 of them at
21 one point and required putting in two separate
22 panels. That's why that's so very, you know,
23 expensive. And, yes, we do some, you know, sub-
24 metering as part of the pilot but it's all
25 manual, so the issue is how much does it cost to

1 go to an automated system? I mean, at some
2 point, yes, that may be, you know, feasible. But
3 maybe some of these other options are also, you
4 know, worth, you know, looking at.

5 So this whole issue of what do the
6 different agencies require as far as meter
7 accuracy is maybe a key, you know, a key part of
8 the question here, too. We talked about that
9 briefly yesterday.

10 MR. KUBIN: Yeah. I think just on that,
11 I think the LCSF [sic] program could be leveraged
12 as a new way to bring some of that value back to
13 the various customers and without necessarily
14 impacting the billing system of utilities.

15 MR. HARLAND: Okay. Do we have WebEx?
16 Anybody on WebEx who wants to ask a question or
17 participate?

18 Anybody else in the room ask a question
19 of the panel or pose a suggestion?

20 Panel members? Great. One question.
21 Last question.

22 MR. COLDWELL: Sorry, Eli, I know
23 you're -- we're over, but --

24 MR. HARLAND: We're good.

25 MR. COLDWELL: We're good? Okay. So

1 Matt Coldwell with the Energy Commission. I
2 just -- I don't really have a question, it's more
3 of a comment.

4 And you know, since the panel is on
5 customer experience, unfortunately, the first
6 sort of touchpoint when somebody goes to
7 purchase -- when a customer goes to purchase a
8 car is with a car dealer; right? And so I don't
9 want them to get lost in this discussion; right?

10 And so just as a quick anecdote, I went
11 to test drive a Bolt recently. And I had made an
12 appointment. It was first thing in the morning
13 so they knew I was coming. I was the only
14 customer there. They had about five Bolts on the
15 lot. Three of them weren't charged. One of them
16 had like a 12-mile charge. And fortunately, one
17 of them had enough to where I could actually test
18 drive.

19 And so after test driving, I get in --
20 went inside and start talking numbers, and not
21 once did incentives come up at all. They were --
22 they had no clue about the state or the federal
23 incentives.

24 And so my point is that with VGI, and I
25 know that dealers aren't really necessarily part

1 of the VGI discussion, but at some point somebody
2 has to communicate the value to VGI to customers.
3 And so I don't know where that happens and how
4 you sort of package that up to deliver to the
5 dealers.

6 And, Sam, I don't know if you touched on
7 this earlier before I got here, but at some point
8 they do need to be wrapped into the discussion,
9 once we sort of have -- maybe a little further
10 down the road. And so I just didn't want them --
11 because I haven't seen a lot of the discussion on
12 that.

13 I know, Eli, you asked a question about
14 it earlier. But I just wanted to make sure that
15 that was brought up and it's sort of part of the
16 discussion.

17 MR. SAXENA: So I think you're spot on
18 that the sales process around EVs can be a
19 painful one. There's good news and bad news
20 here. I mean, the, for better or for worse, the
21 good news is that a lot of people are very
22 skeptical and scared to set foot in a dealership.
23 And so consumers at large spend like a ridiculous
24 amount of time, like the average is over 20 hours
25 in online research prior to even setting foot in

1 a dealership because they want to go in informed
2 because there's this sort of like, whether or not
3 it's a founded perception, this perception that,
4 oh, if I go to a dealership, they're going to try
5 to rip me off, you know, whether or not that's
6 true.

7 So I think that dealers have been very
8 skilled at selling cars. And the tricky thing is
9 that with the EV market of today, there's a whole
10 education process that's required about EVs prior
11 to them even being able to sell a car. And,
12 unfortunately, what that creates is for dealers a
13 bit of a pain in the butt. I mean, if someone
14 wants to buy an EV that sets foot in their
15 dealership, they have to play almost like a game
16 of 20 Questions to sort of get past all of these
17 questions on incentives, on viability, on costs,
18 on rate structures, on, you know, so on.
19 Whereas, their specialty is, hey, you know, these
20 are nice leather seats. Hey, look at how smooth
21 this is to drive. Hey -- you know?

22 So I think that educating the car buyer
23 on the broader benefits and issues around VGI and
24 EVs in general prior to them getting -- setting
25 foot in the dealership will be the pathway to

1 having dealers be a real force for selling EVs,
2 getting them past that game of 20 Questions so
3 that they can focus on what they're good on.

4 MR. HARLAND: All right. Well, that
5 wraps up this panel. So if everybody can give
6 everybody here a hand, that would be great.

7 (Applause.)

8 MR. HARLAND: So we built in time on the
9 agenda for public comments, as well as what we
10 called topics that required additional discussion
11 time. So we had the panels leading up to this.
12 I know yesterday, we definitely ran out of a
13 little bit of time on those. And then we had an
14 active conversation towards the end of the
15 Technology Panel this morning. So we did build
16 in extra time for expanding those conversations
17 or continuing those conversations.

18 So the first thing I want to do is just
19 open it up for public comment. Obviously, we've
20 had a lot of interaction and a lot of audience
21 engagement. So there might not be as much public
22 comment as you're used to when you go to a
23 workshop.

24 But at this point, we are going to open
25 it up for public comment. So we still have the

1 microphones that are roaming in the room. So if
2 there's general comments that you'd still like to
3 make or questions to ask, please do that. We're
4 also going to go to the WebEx. And then
5 following that, we're going to have each of the
6 agency partners on the Roadmap Update come up and
7 provide some closing thoughts. And then we'll
8 finish the workshop with some next steps within
9 the Roadmap process. And we'll also, you know,
10 entertain questions to those, too.

11 So first up is, I guess, the official
12 public comment period. So please raise your hand
13 if you'd like to make a general public comment.

14 MR. TAYLOR: Hi. Dean Taylor, Southern
15 California Edison.

16 I think I'd like to refer people to look
17 at the VGI Working Group results, which are
18 posted, that the five agencies looked at. I
19 mean, there's an incredible wealth of information
20 there and they dealt with extremely difficult
21 issues. I think there was at least 10, you know,
22 meetings, it felt like 100 phone calls or more,
23 100 stakeholders. And we really didn't even
24 really get just to task one. There is a draft
25 report that's published. I understand the final

1 report will be out. But they looked at more from
2 a technology perspective, what are some of the
3 options here for communicating from the EV all
4 the way to the grid.

5 And, you know, on a fundamental level
6 there's kind of two options.

7 One is to -- is a one-step process, just
8 going directly from the car all the way to the
9 grid or the grid aggregator.

10 And the other is a two-step process, or
11 potentially even a three step where you have to
12 go through the charging station and have to de-
13 encrypt, translate, re-encrypt into a different
14 communication protocol to go the whole way. And
15 in there you'll see the analysis, I think, of
16 five, six, seven, eight different options, you
17 know, against a very rigorous set of criteria.

18 And so there's been a lot of talk about
19 these. I know 15118 got talked a lot about, but
20 it's worth looking at how that one scored
21 compared to some of the others.

22 So it isn't the only option out there.
23 There are some other very, very, you know, viable
24 option which, frankly, scored in that, you know,
25 multi-agency process. So I think it's important

1 to, you know, to look at the results, you know,
2 of that since it was so painstaking and not try
3 to reinvent the wheel and come up with new, you
4 know, information. Because I think that is
5 the -- you know, that's where we're at.

6 And that's why I think that this
7 coalition that I mentioned yesterday of
8 automakers and utilities have been asking to do
9 more, to start validating in real world what is
10 the experience there, cyber security,
11 functionality, customer experience, you know, and
12 to really start -- and also, of course, net
13 value. What is the costs and benefits? Because
14 at the end of the day all this has to have
15 something on the car and the automakers have to
16 make a business decision whether they put on
17 their car. So I know that plenty of automakers
18 are seriously looking at just bypassing the
19 charging station and going straight and becoming
20 grid aggregators themselves, at least in many,
21 many use cases.

22 So be careful in jumping to saying that
23 there is an answer at this point because
24 there's -- I think that you are -- you'll see a
25 lot of comment letters on this that there's a lot

1 more work to be done to get to that point,
2 including also the VGI Working Group never got to
3 task two and three, which is on value proposition
4 or net value and, you know, policy alternatives
5 which might be a less expensive way of going.

6 So the technology question is really,
7 really challenging and don't oversimplify it.

8 MR. HUMMLE: Good afternoon. I'm Holmes
9 Hummel with Clean Energy Works. And I did have
10 the opportunity to pose a question to the
11 Economics Panel yesterday. The response that we
12 heard then made me feel, in retrospect, that I
13 hadn't been clear. So I have prepared a little
14 bit better for making a contribution this
15 afternoon.

16 Clean Energy Works focuses on
17 accelerating investment in grid-edge technologies
18 with innovations in financing that can help
19 accelerate the deployment of EVs that ultimately
20 realize the value that we think is there when
21 it's -- onboard storage is integrated with the
22 grid. We're excited about the Roadmap because it
23 will provide navigational aid to decision makers
24 who even outside of California.

25 There are some things that are happening

1 here at an unprecedented scale and I mentioned
2 one yesterday afternoon, and that is that between
3 the CEC, with some supplemental funds from CARB,
4 we can expect to see Californians spend \$100
5 million to buy electric school buses in the next
6 couple quarters. Almost all of the value of
7 those buses will likely be paid by public
8 dollars.

9 To put that in perspective, that's on par
10 with the combination of all VTP program
11 solicitations in one year combined for one
12 vehicle type with one owner type. And the long
13 dwell time of these large batteries creates a
14 ready-made platform for showcasing the value of
15 grid-connected onboard storage across many of the
16 different avenues of exploration that we've heard
17 about, the technology, communications' protocols,
18 the value proposition, the business models.

19 So the first of two quick comments, I
20 hope, is that the Roadmap should not miss this
21 remarkable opportunity to explore the many
22 questions in the priority areas for innovation
23 surfaced in the workshop.

24 The second of the two comments is the
25 pace of deployment of EV technology affects the

1 pace at which we can realize the value of that
2 technology when it's integrated, and the pace of
3 deployment of heavy-duty EV vehicles in
4 California is currently critically constrained by
5 the availability of grant funding which doesn't
6 underscore the need for more grants, it
7 underscores the need for more innovation in
8 financing and business models as part of the
9 Roadmap.

10 The EV school buses, which will
11 ultimately be funded almost entirely by the
12 state, are not money-losing value propositions.
13 After all that money is gone we will have
14 addressed about 1 percent of the market, and we
15 have 99 percent to go. There's good reason to be
16 curious about innovations in financing and
17 business models borrowed from energy efficiency
18 in buildings and appliances that we've seen in
19 India and other parts of the United States, even
20 some that have been endorsed by the Commissioners
21 themselves in their landmark Barrier Study
22 completed just 18 months ago.

23 Clean Energy Works has explored one
24 option that includes site-specific investment and
25 cost recovery by utilities for the onboard

1 battery and the charger that connects it to the
2 grid and makes it smart using capabilities that
3 the CPUC has already mandated that each of the
4 IOUs develop in service of their on-bill
5 financing platforms. While the IOUs were restive
6 and resistant at first, PG&E filed a notice with
7 the CPUC last month that called it's on-bill
8 capability, quote, "foundational," end quote, to
9 its business strategy for achieving the states
10 goals for energy efficiency in existing
11 buildings. Why not in the VGI Roadmap think
12 about what the implications would be if we
13 unleashed that on a marketplace that is currently
14 completely dependent on the state for
15 commercialization?

16 We see there is good reason to believe
17 that consumers of every socioeconomic background
18 benefit when our largest public investments and
19 shared mobility are moved from diesel to
20 electricity. And the pace of that transition
21 does not need to be constrained by the pace of
22 state pending, lest we actually take advantage of
23 the VGI Roadmap to open up creativity across the
24 sectors and across the topics of economics,
25 technology and consumer value proposition.

1 I hope that those two comments will help
2 inform and possibly expand the scope of certain
3 portions of the Roadmap so that by the time it's
4 updated again in five or so years, we will have
5 been able to see some real distance traveled.

6 Thank you.

7 MR. HARDY: Hi. My name is Ryan Hardy
8 from Honda.

9 We didn't talk enough in this meeting, I
10 think, about markets and potential for rate and
11 tariff design. From my perspective the single
12 biggest barrier, and we showed off kind of a
13 little Roadmap cartoon yesterday about, you know,
14 how we get to a world of V1G controlled charging,
15 and how we get to a world of V2G by directional
16 control charging, and then how we get all the
17 values that come out of that.

18 But the very first step on that Roadmap
19 is really about the markets and, you know, how do
20 you break apart the value streams and then
21 allocate those value streams to the actors that
22 provide them in a way that's sufficient for that
23 actor to do that job of providing that service?

24 So, for example, we, the automaker, to
25 do -- just to do V1G, some form of controlled

1 charging, if we're doing it through telematics,
2 we have to recruit a customer. We have to engage
3 them. We have to develop an app. We have to
4 operate the server. We have to operate -- you
5 know, integrate with an aggregator or with the
6 utility in order to do that. All of those things
7 have costs. But the value that we get from VIG
8 as the automaker is actually remarkably small.
9 If we, you know, push the customer from peak time
10 charging into time-of-use the customer saves
11 money, that's great. We've increased the value
12 of our product. If we can educate enough people
13 about that, maybe they're willing to pay more for
14 electric cars in the future and that could be,
15 you know, expressed as recovery of that value.
16 Today it's not really, really true that way.

17 The same thing for each, you know, chain
18 along there, that the -- you know, if we want to
19 get to a world of V2G, we have to put hardware
20 onboard the car. The, you know, the aggregator
21 in the system, everybody in that chain needs to
22 get paid. And we saw from the Lawrence Berkeley
23 Labs like the single biggest, you know, pool of
24 value is money society won't spend. Well, how do
25 we -- how do you monetize money that nobody's

1 going to spend. If you do something good, how do
2 you monetize that?

3 I think that some of those things could
4 be done through, you know, very smart tariff
5 design. You get the tariffs right now and, you
6 know, even through pilots and tests and lots of
7 papers with PUC and whatnot, but a combination of
8 tariff design and market design with the ISO and
9 the utilities, I think we've got a really good
10 chance of getting this right. You know, and it's
11 up to us as the automakers to get the costs of
12 doing these services as low as we possibly can.
13 And we need a competitive market for, you know,
14 energy aggregators and whatnot so that they can
15 compete and get their costs as low as they
16 possibly can and, finally, everyone can benefit
17 from these.

18 But if we don't have those markets in the
19 first place with some means of recovering those
20 values, then we kind of have no hope. And maybe
21 the time-of-use rate is as good as we can do, and
22 then we have to just educate the customer to, you
23 know, charge after their peak time.

24 So that first thing is just we have you
25 make sure that for every actor in the system,

1 that the value that their customer gets exceeds
2 the price that their customer will pay, which
3 exceeds the cost of providing that service, that
4 good or service to them. Otherwise, that --
5 we're out of business.

6 And then the second thing, we've talked
7 about VGI a lot, but we haven't really defined
8 enough about what it needs to do. And when we
9 talk about the technologies we need to apply,
10 whether they're, you know, V2G hardware onboard
11 the car, whether it's communication through
12 telematics, whether it's a communication standard
13 between and EVSE and the car, we have to be, I
14 think, a little bit more clear about what we need
15 that -- what we -- what we're trying to achieve.
16 And then we can talk about the tools in the
17 toolbox that we need to do that job.

18 And today, I think we heard an awful lot
19 about ISO 15118. There's a lot of standards.
20 Dean very eloquently said that, you know, the VGI
21 Working Group looked at a lot of different
22 standards. There's lots of different ways to
23 achieve the goals that we want to achieve. And
24 then I think together, through rate and tariff
25 design, we need to look at how to do that in the

1 most cost effective and best way for our customer
2 and for society.

3 And that's all.

4 MR. SCHORSKE: Hi. Richard Schorske, EV
5 Alliance. This is a question and a comment. And
6 the question has to do with next steps in the VGI
7 Roadmap process, really from a project
8 development perspective.

9 I know many people in this room were
10 around for the last generation of this that, I
11 believe, CAISO hosted. And you know, we don't
12 have a lot of projects to show. We have some
13 CEC-funded projects but not a lot of market-
14 driven projects. And I think that's a concern
15 for the project going forward.

16 And I just wanted to suggest some outcome
17 goals that might be more outcome oriented than
18 process oriented, more project oriented than
19 standards oriented that would reflect, you know,
20 Holmes has a great example with his school buses.
21 I think everybody's in agreement that the VGI e-
22 bus use case on schools is perhaps the paramount
23 opportunity right in front of us. But you know,
24 Honda is doing some great work. Nissan is doing
25 great work in the U.K. on VGI with new V.

1 There's so many other examples out there.
2 There's some heavy-duty deployments in the ports.
3 That might not be a great use case but it hasn't
4 been fully explored. There's a lot of battery
5 capacity there. And there's e-bus VGI use cases.
6 And we're leading one in AVTA territory. There's
7 another one in VTA, and so on.

8 So what I would love to see is some
9 actual metrics for VGI enablement in a variety of
10 contexts, maybe one per major customer or vehicle
11 segment, that has some real numbers to it and
12 that has some commercial partners with skin in
13 the game, not just grant funded, not-not grant
14 funded, perhaps, but something where we have some
15 thousands of vehicles two or three years from now
16 that are involved in commercial-scale VGI
17 deployments, including V2G, as well as VGI. And
18 there's so many ways that can happen. Utilities,
19 you know, have gone through their first round of
20 pilots with some, you know, clarification of
21 processes, and thinking the Excess Supply Pilot
22 and all the great things in San Diego and other
23 places.

24 So I just want to make sure that there's
25 a process in place where we can propose those

1 projects and get them baked into the Roadmap
2 process so we're not exclusively working in the
3 policy and planning domain but actually in the
4 project development domain.

5 And I just wanted to ask Noel or whoever
6 else would like to field the question about sort
7 of what's next in this, in the Roadmap process,
8 and can we actually build in some project and
9 deployment work?

10 MR. HARLAND: I will be -- before we
11 leave I'll go through the next steps for the
12 Roadmap process, so I'll kind of walk through
13 what to expect next.

14 As far as building in those use cases,
15 within our framework we have right now we haven't
16 excluded any ideas or decided -- or finished
17 exactly -- or finished scoping out exactly what
18 each of the actions may look like. But the final
19 format as, and I'll describe this again, is to
20 have a matrix or a list of actions. And the
21 descriptions in those actions, that's what we're
22 working on between now and the draft Roadmap that
23 we put out. And then those actions will include
24 an assignment to an entity or entities, so it
25 could be the market, it could be a utility, it

1 could be agencies, and a priority level, as well
2 as any possible sequencing.

3 So if there's a particular way to draft
4 that action so that it recognizes and includes
5 the type of analysis or the due date for the
6 information you might get out of analyzing a use
7 case or use cases, as you're describing there, I
8 don't think that there wouldn't be a place where
9 that wouldn't belong in the Roadmap Update.
10 But -- so the format that we're following at this
11 point is to have that list of actions that are
12 prioritized so.

13 UNIDENTIFIED MALE 2: So I have three
14 comments and I'll try to be brief. The first one
15 is I just want to reemphasize what several
16 members have talked about, which is the
17 inclusiveness of the Roadmap. So in our
18 comments, we emphasize that we'd really like the
19 Roadmap to be inclusive of all of the dimensions
20 of VGI. So when you're talking about sectors,
21 that's residential and commercial. When we're
22 talking about type, that's V1G and V2G. And then
23 the list goes on, without going into further
24 details on it.

25 But with that said and to the extent

1 possible, and I appreciate the difficulty in
2 that, is trying to balance that with keeping the
3 Roadmap focused on VGI and not try to boil the
4 ocean with all of the issues that have -- that
5 are related with electrified transportation,
6 because then you can easily get lost. So there's
7 a balance between being inclusive of all of the
8 VGI issues but not also inclusive of all of the
9 electrified transportation issues because that's
10 just a different animal.

11 The second point that I want to -- is
12 really a question. And I was hoping that maybe
13 in the next panel we can get a little bit more
14 clarity around the involvement of the different
15 agencies. So at least in mind, and this is a
16 question, I'm wondering, are the different
17 agencies participating in the development of the
18 draft documents that are being sent by the CEC or
19 are they just providing comments? Are they
20 incorporating the comments that are being
21 received from the public into the draft
22 documents? How exactly is this process working.

23 And then lastly, this is also a hope and
24 a light request, which is once you, Eli, talk
25 about the next steps, I really hope there will be

1 like, you know, some time for public feedback
2 about what people think about those next steps
3 and if there's anything that we can improve in
4 that.

5 MR. KARLEN: Good afternoon everyone.
6 Erick Karlen with Greenlots. It's been a great
7 discussion today. I just wanted to highlight two
8 themes that I think are important for us to think
9 about moving forward.

10 MR. HARLAND: Eric, put the mike up.
11 Yeah. There you go.

12 MR. KARLEN: Yeah. A little additional
13 emphasis.

14 First, we should be thinking broadly
15 about VGI. And this is not just with respect to
16 future V1G functionality down the road, also what
17 is possible with current technology, smart
18 charging in particular, managed charging
19 functionality. You know, for example, it's not
20 too inconceivable not too far down the road to
21 imagine a place where smart charging and managed
22 charging is not just supporting rate design and
23 what rate design accomplishes and provides to the
24 system, but it's also going beyond rate design,
25 and perhaps even obviating the need for rate

1 design in certain contexts or for certain EV
2 load.

3 Secondly, I just also want to focus that
4 while we should be thinking broadly, we also need
5 to think about keep ourselves grounded and think
6 about near-term deliverables that this group
7 should be providing, specifically with respect to
8 standards. It was a big topic on the first panel
9 today and I think we should not leave -- lose
10 focus of that. The market is coalescing around a
11 variety of standards for -- that concern EVSE,
12 and specifically between the EV and the EVSE.
13 But not just that, but also upstream
14 communication standards, OCPV (phonetic) and open
15 EDR (phonetic), in particular. And it would be a
16 pretty big miss for this group if we let the
17 perfect be the enemy of the good and let that be
18 a reason for not taking action, realizing that
19 standards are an iterative, evolving process.

20 So, yeah, I just want to leave it that.
21 Thank you.

22 MR. TAYLOR: Hi. Dean Taylor, Southern
23 California Edison again. I wanted to, you know,
24 emphasize something.

25 When I was thinking about the school bus

1 it made me thinks there's, I think, a lot of
2 policymakers may think there's kind of like a
3 one-size-fits-all solution. And you know,
4 unfortunately, we're not centralized to charge
5 at, you know, stations, like gasoline. And the
6 markets are -- the solutions are all very
7 different for the different markets, you know, be
8 it home solutions for homes could be radically
9 different than solutions for fleets or public or
10 workplaces, or even MUDs. So we have to look at
11 the different, you know, markets, or even
12 different solutions for plug-in hybrids at home
13 versus battery EVs. So you know, even within
14 fleets, you know, the school buses could be a
15 prime example of a very -- you know, the best
16 thing within the fleets.

17 So it's just important to have that be
18 conveyed as we're going through so when we're,
19 you know, talking about any of these things, be
20 it the cost benefit analysis or which
21 communication protocol, the answer may not be the
22 same for the different markets. You know, and I
23 think it's really important to have that, you
24 know, come through at a top level because I think
25 policy makers kind of like one-size-fits-all

1 solutions and that's not going to happen in this
2 case.

3 MS. WALL: Hey, it's Francesca Wall with
4 Tesla. I just wanted to make one quick point,
5 since Tesla not only does electric vehicles,
6 charging and solar and storage, I think we've
7 heard a lot of about use cases and customer
8 experience, which I think has been really good
9 discussions.

10 And one thing that people alluded to but
11 that wasn't touched on as much in a particular
12 use case segment is really just to remember, too,
13 the impact on customers who are making
14 investments on solar and storage onsite, as well,
15 and how that may change their kind of VGI value
16 strategy. And so when looking at the Roadmap,
17 kind of taking that into consideration, too. And
18 then not over-complicating some of the concepts
19 out there today. So there was a lot of
20 discussion around DR programs which could be
21 relatively technology agnostic and have
22 participation across a broad spectrum.

23 MR. HARLAND: All right. That looks like
24 all the public comment in the room.

25 I'm looking at Hilary to see if we have

1 anybody on WebEx that would like -- Steve Davis?

2 Okay.

3 MR. DAVIS: Hello. Can you hear me?

4 MR. HARLAND: No. There's two un-mute
5 buttons.

6 MR. DAVIS: Okay. Can you hear me now?

7 MR. HARLAND: We can.

8 MR. DAVIS: Okay. I just want to -- I've
9 got a bad echo again but I'll make my way through
10 this.

11 I just want to comment briefly on the --
12 some of the points being made about the various
13 choices of standards. We're really at a moment.
14 And I think if you closed your eyes and you
15 imagined it was December of 2016, you'd have a
16 hard time, you know, noticing any difference from
17 what we were saying then to what we're saying now
18 about standards, which is to say that we've had a
19 stalemate on this topic since 2012, I think it
20 is. And we have got to make a decision and begin
21 to put our money where our mouth is with regard
22 to VGI. As much as it may sound, you know, not
23 in the spirit of the kinds of things people like
24 to say at the CEC, at some point you've got to
25 make a decision.

1 And if we're guilty of anything in this,
2 you know, while we're seeing the frightening
3 effects of climate change and new reports coming
4 out from the IPCC emphasizing our need to act in
5 unprecedented ways at unprecedented speed, the
6 idea that we still have not picked a
7 communication standard for vehicle grid
8 integration flies in the face of everything we
9 know.

10 And I think that the automakers that have
11 shown up and put their comments, along with CHAR
12 (phonetic) in and others, that Oleg and Obrie or
13 Hubject put forward should tell us that, you
14 know, we were -- in 2014, we were kind of asking
15 California to tell the automakers, hey, there's a
16 market signal, here's what you can build. We
17 hear you and now we're going to do this.

18 Now we're in the opposite position and
19 the automakers have moved on because of European
20 clarity about this issue, and other places around
21 the world that have clarity about this issue, and
22 they're telling us now what they plan to do. And
23 not just European automakers; Hyundai, Kia and
24 others have also indicated their plans.

25 So if we talk about the number of

1 stations needed to be in the ground and ready to,
2 as Byron Washom was talking about, you know, be
3 the -- take the Field of Dreams approach and
4 helping people make the decision by building the
5 stations and giving them confidence in the
6 product, we have to do that now.

7 I'll put -- let me dramatize that. If we
8 were to get 250,000 Level 2 stations into the
9 ground by 2025 and we were to subtract out the
10 10,000 we have right now, starting today, we'd
11 have to install over, 3,300 stations every month
12 from now until 2025.

13 So we're still installing stations every
14 single day in this state and throughout the
15 United States, but we have no clarity about what
16 it is we're going to install, so we basically
17 just install stations that do not support,
18 basically, standard space communications for VGI.
19 Now that means we're going to be living with
20 telematics. And a lot of automakers may want to
21 do that, you know, on into the future. But those
22 that want to implement the standard can't because
23 there's no matching investment from us.

24 And so, you know, once again, in December
25 of 2016, we all got together. We had the typical

1 stalemate discussion and we said we're going to
2 solve this with a vehicle -- a VGI Working Group.
3 And at the end of 2017, we met in December and
4 nothing was accomplished. We agreed to disagree.
5 And so the VGI Working Group report basically
6 failed to move us off this stalemate.

7 So now we're at a point where we're
8 saying, okay, let's talk about VGI once again.
9 We have got to decide on a communication's
10 standard, full stop. And that may sound like,
11 okay, there are people in the room, I'm sure,
12 that hate hearing that, they hate me here, hate
13 hearing me say it for the millionth time but
14 that's the truth. And we're talking about, you
15 know, trying to move forward on vehicle grid
16 integration and address climate change and tease
17 forward this revolution-scale adoption of
18 electric vehicles. The only way you do that is
19 to defragment something that's very fragmented.
20 And so that's my point on that.

21 I'll make one other. Much of the
22 discussion also has been on the low adoption rate
23 of ToU tariffs. If you look at some of the
24 utilities the super-off-peak rate is 23 cents
25 during the winter months. The peak rate is 25

1 cents and the off-peak rate is 24 cents. So when
2 you have rate structures like that, that
3 basically never really -- it's kind of a heads-
4 we-win-tails-you-lose tariff for the customer,
5 it's very difficult for the customer to see how
6 signing up for a ToU rate or doing anything
7 necessary to set a timer or interact with delayed
8 charging, that's never going to happen unless
9 there's a real price signal. So the price signal
10 for the super off peak or the times when you
11 really want somebody to change, there has to be a
12 bigger delta in the price.

13 And with that, I'll close.

14 MR. HARLAND: Looking over at WebEx,
15 Hilary, do we have anybody else raising their
16 hands?

17 UNIDENTIFIED FEMALE: (Off mike.)
18 (Indiscernible.)

19 MR. HARLAND: I do. It's always a big
20 challenge. You don't know what you're going to
21 get.

22 UNIDENTIFIED FEMALE: I know.

23 MR. HARLAND: But, okay, so we are about
24 to un-mute the call-in users who are on WebEx.
25 For those who aren't going to make a comment, if

1 you just mute your phone after we un-mute the
2 lines, that will be helpful. We're not going to
3 leave them open for long. But if you do have a
4 comment, your phone lines are un-muted. Okay.
5 Great. That -- it never sounds like that when
6 you un-mute the lines, so that was fantastic.

7 So thank you everybody for your public
8 comments. I'm going to transition now to closing
9 remarks from the folks that are partnered on
10 working on the Roadmap with us, so I'll let them
11 introduce themselves and provide those remarks.
12 And as I mentioned, the last thing I'll do is
13 I'll go through next steps after those closing
14 remarks, and then we'll -- it looks like we'll
15 probably wrap a little bit early today.

16 R. KLAUER: There we go. Good afternoon.
17 I'm Peter Klauer. I work for the California ISO.
18 I'm a Senior Adviser in this market technology
19 space.

20 The California ISO operates and maintains
21 reliability of the bulk electric system for about
22 80 percent of California. We have a vested
23 interest, though, in understanding how
24 distributed energy resources can help us manage
25 the grid. We know the grid is evolving and we

1 know that's the future, so we're looking for
2 opportunities to enhance our market opportunities
3 for these resources.

4 The good news is that we've been working
5 very hard to provide these opportunities in the
6 wholesale market for our participation of
7 distributed energy resources. For example, we
8 have an ongoing stakeholder initiative called
9 ESDER, which is Energy Storage and Distributed
10 Energy Resources. And the most recent activity
11 in that initiative is to provide the opportunity
12 for demand response resources to actually perform
13 some sort of load shift, so we're actually trying
14 to introduce load consumption, not just load
15 curtailment.

16 The other activity that relates directly
17 to EVs is the ability to have a performance
18 methodology measurement for EVs separate from the
19 facility load. Because we understand that this
20 granularity of loads within loads or within the
21 facility is certainly a big topic, and we heard
22 that over the last couple of days. So we're kind
23 of chipping away at our ability to allow these
24 resources to participate.

25 Now these are still loads and it's load

1 curtailment, so it's not perfect. I think a lot
2 of what I heard today and what I would agree with
3 is that we're looking for more sort of dynamic
4 opportunities for these resources to participate,
5 not just low curtailment but more load
6 management, and not necessarily V-to-G only but
7 V1G, as well. If we can manage to load and they
8 can provide those services, that could create
9 greater opportunity for these resources to
10 participate in the ISO market. And we've got,
11 you know, several thousand megawatts
12 participating our DR program and in our DR
13 product, so it's working, but it needs to
14 continue to improve.

15 What many of you may not know is that we
16 also have another framework we call DERP, which
17 is Distributed Energy Resource Provider. And
18 this is fairly new, although it's been out there
19 for two years. The DERP framework was devised
20 with the understanding that aggregations of DER
21 could essentially be utilized in the ISO market
22 and span both load and gen, to operate more like
23 a battery or a virtual power plant.

24 And, unfortunately, though, even though
25 we've had those DERP provisions in our tariff, we

1 have no DERP resources participating in our
2 market today. And I would attribute most of that
3 to many of the challenges that we've talked about
4 over the last two days. These challenges are,
5 you know, such as cost benefit and the value, you
6 know, what kind of revenue could be obtained from
7 these types of resources? Is there a business
8 case today? Will there be a business case later
9 in the future?

10 Distribution interconnection is a challenge;
11 metering options, communication technologies,
12 wholesale versus retail rates, and multi-use
13 applications.

14 So I have to say first that when we
15 introduced these rules into our tariff, we
16 understood that this was going to be a challenge
17 in the system overall. So I think if you look at
18 the challenges that we faced in implementing DERP
19 compared to what the utilities have to think
20 about, allowing these resources to participate at
21 the ISO where we are dispatching them in
22 aggregate form, you know, from the distribution
23 system to provide those services, we don't have
24 the visibility that the DSO has and that the
25 distribution system has.

1 So it's understandable that the
2 interconnection application is going to be more
3 complex. More has to be thought through in terms
4 of the aggregation geographic area. But we've,
5 you know, we've kind of started this process.
6 And I think it's continued largely in the multi-
7 use application proceeding, or it was actually
8 the storage proceeding on the CPUC started a
9 working group for multi-use application. And the
10 concept there is how can you have distributed
11 resources that provide services up through the
12 distribution -- up through the distribution to
13 the ISO so they can provide into the distribution
14 system, as well as the transmission system?

15 And a report was filed this year in
16 August. It's under review from the Commissioners
17 right now. And I attended a workshop review last
18 week where some of the findings of the outcomes
19 were presented to the Commissioners. And it's
20 likely that there's going to be additional
21 rulemaking on multi-use applications. So I think
22 that's going to be a good forum to kind of keep
23 pushing the more dynamic ability for these
24 resources to be aggregated and provide more
25 sophisticated-type services to the grid.

1 So I think I would agree with, I think, a
2 lot of the discussion that took place over the
3 last two days. And I was really impressed with
4 both the panelists and the presentation materials
5 and the workshop overall. I think it was very
6 valuable, at least for me, to hear and kind of
7 reaffirm some of the challenges that we've been
8 facing.

9 So you know, the only thing I can really
10 wrap up with is that we look forward to working
11 with the EV stakeholders, with the agencies. We
12 do have a vested interest in allowing these new
13 forms of participation in our market. And we
14 look forward to overcoming these barriers to make
15 it happen.

16 So I'll close there.

17 MS. SISTO: Hi. I'm Carrie Sisto with
18 the California Public Utilities Commission.

19 Just to kind of carry off of what Peter
20 closed with there, one thing internally at the
21 Commission that we're moving towards is better
22 integrating all of our resources planning teams,
23 and that includes Integrated Resources Planning
24 Team which looks at the system as a whole, the
25 Distributed Resource Planning Team which looks at

1 the distribution system and how it fits into the
2 system as a whole, and then the storage and the
3 multi-use applications and figuring out ways that
4 EVs fit into their planning processes and how
5 their planning processes can inform our
6 proceedings on EVs and better align the DER
7 planning processes in general.

8 So this working -- this workshop and this
9 VGI Roadmap Update is pretty critical to help
10 guide that process because it helps -- one of the
11 themes I've heard a lot over the past two days is
12 what questions should we be asking? Are we
13 asking the right questions? And that's what this
14 Roadmap is supposed to do, it's supposed to
15 identify and help us prioritize what questions to
16 answer first and who should be either feeding
17 that or doing it and how those answers can be
18 reached. So I think that the past two days have
19 been very informative in helping guide that
20 prioritization effort and help us figure out
21 which step to take next.

22 I know a lot of people have asked me
23 separately in side conversations about the final
24 staff report from the VGI Working Group that was
25 carried out last year. We're hopeful that it

1 will be issued by the end of the year. I'm done
2 writing it, so hopefully it will be issued by the
3 end of the year.

4 And, yeah, the CPUC is going to continue
5 working within itself and with our sister
6 agencies to move this process forward.

7 MS. PALMER: Hi. My name is Stephanie
8 Palmer. I work in the ZEV Implementation Section
9 at the California Air Resources Board.

10 Many of you have heard today about the
11 implementation of SB 454 Electric Vehicle
12 Charging Station Open Access Act. I just want to
13 let you know that CARB is paying very close
14 attention to what you were saying about the
15 consumer experience and the status of technology.
16 We are listening. We are reading. We are trying
17 to follow everything and use it to help implement
18 SB 454 in the best manner possible, taking into
19 consideration industry, as well as the consumers.
20 They are definitely in the forefront.

21 I also want to say thank you very much
22 for being here for the last two days. We've
23 heard a lot of valuable information. And I look
24 forward to taking it back to CARB and
25 distributing it amongst the different branches at

1 CARB because they are working on projects with EV
2 charging and they need to know the updated
3 technology information.

4 So thank you very much and I look forward
5 to seeing out the rest of this process with
6 everybody.

7 MR. GONZALEZ: Hello. My name is Ray
8 Gonzalez and I'm the Staff Lead for
9 Transportation Research here at the Energy
10 Commission. I work with Matt Fung and together
11 we support the EPIC Program, focusing on electric
12 drive among other alternative fuels or advanced
13 technologies.

14 So the Roadmap, so why the Roadmap? So
15 we use this process to bring in stakeholders, to
16 bring in experts, to bring in the public to help
17 shape a plan or a document that's going to inform
18 our programs, provide the right priorities or
19 lists of priorities so that we can move forward
20 with investments that will address the barriers
21 that are outlined in the Roadmap. So it's very
22 critical that we get this participation.

23 So I do want to commend everyone for
24 attending. This is two days. This is a lot of
25 work. There's been a lot of information. We've

1 got a huge task ahead of us to go through the
2 information, put it in an organized fashion, and
3 to begin authoring the next Roadmap. So the
4 plans are to draft that Roadmap and provide a
5 draft and we'll move forward with either a
6 webinar or a public workshop, in-person workshop
7 if needed, but I think right now the plan is for
8 a webinar. But the important thing is that we've
9 collected all the feedback and that we can
10 organize it in a way that will inform our
11 programs. And likewise, we want to establish
12 some actions that will be co-shared with our
13 sister agencies and organizations, like
14 California ISO.

15 So our programs, both the ARFVTP and EPIC
16 Program, we do investments. So these investments
17 are at various, what we call, TRL levels. Some,
18 the EPIC Program, covers early research. Other
19 projects will be more of the technology
20 demonstration and deployment. ARFVTP has done
21 quite a bit of demonstration efforts and is now
22 moving forward with stations, electric vehicle
23 infrastructure rollout. And there's a lot of
24 technology in a lot of different TRL levels or
25 maturity in technology, you know, where it's

1 relative to commercialization.

2 And likewise, there's a lot of different
3 topics that we've covered today. And our
4 programs can support some of that. Other
5 agencies and other programs will, you know, do
6 what they can that fits into their programs. But
7 the important thing is that this Roadmap provides
8 good context so that we all know what the goals
9 are, what we're trying to achieve, identify, as I
10 mentioned, the barriers that are preventing
11 progress, and it provides us a good look at what
12 needs to be accomplished in order to move
13 forward.

14 There were some great topics that were
15 mentioned that I didn't want to lose sight of, so
16 I focus a lot on the research side, early
17 research side. But things like education and
18 outreach, those are critical. Those are critical
19 because, as was mentioned today, an EV owner is
20 not going to be a grid expert. And in order for
21 them to have a seamless experience with their
22 technology, that has to be well thought out.
23 That has to be well designed. That has to be
24 well rolled out. And as well, it needs to be --
25 there has to be some education or some

1 information that is going to come up.

2 I think the analogy of -- that was
3 mentioned today, talking in terms of kilowatts
4 versus gallons of fuel, is critical. And those
5 of us in the room, of course, we understand it.
6 But it doesn't go too far beyond where we are
7 that it's difficult to understand. And then to
8 turn around and say, you know, that investment
9 you're going to make, we may want to use it as a
10 resource.

11 So it's going to be a difficult sell,
12 potentially, or we can make it an easy sell.

13

14 And so things like other topics that were
15 mentioned, like cyber security, areas that we
16 have not -- it's been years since our research
17 program has supported projects within that topic,
18 but it's important for the Roadmap to identify
19 whether that's a barrier, whether we need to
20 address it in one way or another or if it's going
21 to prevent progress to enable VGI?

22 Value potential. I think the value
23 proposition is still -- there's those of us who
24 question it or those of us that are sold, that we
25 know it's going to be valuable. But I think, you

1 know, identifying what is it we need and what --
2 you know, who needs to take that action is going
3 to be critical. And it's something that we can,
4 again, take that information and translate it
5 into actions in order to allow VGI to progress.

6 There are some major challenges that were
7 identified in our two-day workshop. Among those
8 are grid upgrades or trying to alleviate grid
9 upgrades, addressing things like demand charges.

10 So when I started in this space about ten
11 years ago, when we talked about EVs, we were
12 really focusing on passenger cars. In the last
13 few years and through some of our EPIC
14 investments, we have quite a few projects that
15 are supporting heavy-duty vehicle demonstration.
16 Some of the feedback that we're hearing is that
17 there -- the experience of the cost of powering
18 those vehicles is incurring demand charges and is
19 looking like it's a little more expensive than
20 conventional or natural gas technology. And so
21 it's something that we weren't expecting. It's
22 something that we need to address. And it's
23 important that we capture items like that so we
24 can continue to try to broaden the adoption.

25 There was some mention of demonstration

1 efforts that are ongoing or will be starting
2 soon. The school bus is one. There's ports,
3 trucks that are being demonstrated. And it's a
4 good feedback that we need to try to take
5 advantage because our programs can't -- you know,
6 there's only so much that we can invest in,
7 there's so much demoing that we can do. But
8 other programs that embarking on these
9 demonstrations, it's good feedback that we need
10 to take advantage and learn as much as we can for
11 the demonstration efforts that are going on, and
12 that goes beyond California.

13 Let's see, so I did want to thank the
14 team here at the CEC, mainly Eli Harland, Noel
15 Crisostomo, Matt Fung, Mark, and Mark, I'm going
16 to get your name wrong, oh, Palmere, I wrote it
17 down. Okay. And also our Agency partners, Peter
18 from CAISO. This was a very difficult thing to
19 try to put together in a short period of time.
20 And there's a lot of information, as I mentioned,
21 that we're going to half to comb through, get it
22 organized. And together, we're all going to
23 review it and we're all going to present this.

24 One of the things I do want to do is
25 thank all of you for participating. And one of

1 the things that I'd like to extend, I hope my
2 team doesn't -- or agrees with this is that, and
3 I've done this in past Roadmap, is that I'd like
4 to include in the appendix all the participation
5 throughout the process. Because I think it's
6 important that the Roadmap reflect the
7 participation of all, beyond the government
8 agencies and CAISO.

9 Let's see, I think that's all I have to
10 say, so I'll pass that on. I think the next
11 section is next steps.

12 MR. CRISOSTOMO: Thanks everyone for some
13 closing thoughts.

14 So next steps on the development of the
15 Roadmap, as is described in the agenda and the
16 notice for the workshop, we'll be accepting
17 public comment from everyone here. So as Eli has
18 identified in various parts of the day or the two
19 days, our goal is to complete the second half of
20 the Roadmap which is focusing on not the problems
21 or where the solutions -- or, sorry, not the
22 problems or issues but the actions to resolve
23 them.

24 As you'll see, there are crossed-out
25 parts, there are new parts, there are melded

1 parts. And so despite modifications that we know
2 weren't necessarily unanimously supported by all
3 parties, given the substance of the discussion
4 here and the disagreements on issues around
5 say V2G, value, the usefulness of things, our
6 planning horizon, utility incentives, we know
7 that there are contended issues in this space.
8 But we want people to be action oriented and
9 solutions oriented for the second half of the
10 work -- of the matrix.

11 So identifying those specific actions,
12 highlight who you think would be appropriate to
13 be involved, including yourself if you are
14 interested in engaging in this respect, and the
15 prioritization. We intended to really highlight
16 three levels of prioritization, high, medium and
17 low, depending on the timeframe in which the
18 action needs to be solved in order for us to
19 animate markets and in the perspective of
20 available resources, and this could be state
21 resources to enable a policy or create a market,
22 or industry resources in terms of developing new
23 technology or test centers or what have you.

24 And so please be specific in using that
25 key because that will be critical to determining

1 how many, say, lanes we pave on Honda's VGI or
2 v2G roadmap for a certain issue. And eventually,
3 the sequences will help tie all those separate
4 areas together. We know that policy, economics,
5 technology and the customer experience are
6 extremely interwoven. And so perhaps we don't
7 have 45 action items, but instead we have 20
8 because we are just interdisciplinary, solutions-
9 oriented people.

10 And so please use an Excel spreadsheet to
11 directly input your comments so that we can more
12 easily meld them together. That will help us a
13 lot and avoid having to do mindless cutting and
14 pasting. So if -- I believe .pdfs are only
15 accepted, right, through the interface? So if --
16 in addition to any letters that you want to
17 submit via that portal, if you could follow up to
18 an email -- with an email to us, including your
19 Excel spreadsheet, that would be a great help.

20 In addition to the matrix itself, we're
21 going to accept feedback on questions that are
22 listed in the prompts for the agenda. And we
23 will also accept feedback on the policy market
24 and planning interaction framework, and that will
25 be served through our normal list interface.

1 And so public comments will be due in a
2 little over three weeks, right before
3 Thanksgiving. So I'd expect some Wi-Fi
4 connections via the airport to send comments to
5 us. But we want to give you some time. If you
6 want to engage with us prior to submitting
7 comments, we are available and can take calls to
8 discuss any questions that you have, so please
9 feel free to reach out.

10 And in terms of next publications, we
11 haven't set exact deadlines for when the draft
12 Roadmap will go out or the webinar to present the
13 Roadmap. And so we will be providing further
14 detail on that as soon as we're able to wrap our
15 hands around the next round of comments.

16 And so I guess to reiterate and kind of
17 close the day, our goal here is to move towards a
18 carbon-neutral economy. And transportation is,
19 obviously, a critical element of helping
20 California be California, but we have to move as
21 quickly as possible toward decarbonization
22 because our climate is counting on us. Our
23 citizens are breathing dirty air. And the
24 fastest that we can coalesce around solutions the
25 better, because I remember asking these exact

1 same questions in a room of similar stakeholders
2 in 2012 when I began drafting the original VGI
3 Roadmap with Peter and others in the room in the
4 board room of the CAISO.

5 And so we have to be making better
6 progress in order for us to decarbonize. We
7 cannot be repeating the same questions. So let's
8 set a road and drive down it, so that we're
9 actually making progress.

10 Thanks.

11 (Applause.)

12 (The workshop concluded at 4:45 p.m.)

13

14

15

16

17

18

19

20

21

22

23

24

25

REPORTER' S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of December, 2018.

A handwritten signature in black ink, appearing to read "Edwiges C. Lastra", with a horizontal line extending from the end of the signature.


Eduwiges Lastra
CER-915

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of December, 2018.



Myra Severtson
Certified Transcriber
AAERT No. CET**D-852