DOCKETED		
Docket Number:	18-IEPR-04	
Project Title:	Energy Demand Forecast Update	
TN #:	226473	
Document Title:	Transcript of 1262018 IEPR Lead Commissioner Workshop 2018	
	California Energy Demand Forecast Update	
Description:	N/A	
Filer:	Cody Goldthrite	
Organization:	California Energy Commission	
Submitter Role:	Commission Staff	
Submission Date:	2/6/2019 10:19:07 AM	
Docketed Date:	2/6/2019	

1	STATE OF CALIFORNIA
2	CALIFORNIA ENERGY COMMISSION
3	
4	
5	IEPR Lead Commissioner Workshop
6	2018 California Energy Demand Forecast Update
7	
8	Transcript of Proceedings
9	
10	California Energy Commission
11	Art Rosenfeld Hearing Room - First Floor
12	1516 9th Street
13	Sacramento, California
14	
15	
16	Thursday, December 6, 2018
17	10:00 a.m.
18	
19	
20	
21	
22	
23	
24	
25	Brittany Flores, CSR 13460
	CALIFORNIA REPORTING, LLC (510) 224-44/6

1	APPEARANCES
2	Dais:
3	Robert B. Weisenmiller, Chair of the California Energy Commission, Lead commissioner for
4	Electricity and Natural Gas
5	Karen Douglas, California Energy Commission Lead Commissioner for Siting
6	David Hochschild, California Energy Commission, Lead Commissioner for 2018 IEPR Update
7	J. Andrew McAllister, California Energy Commission, Lead Commissioner for Energy
8	Efficiency
9	Janea Scott, California Energy Commission, Lead Commissioner for Transportation
10	Liane M. Randolph, California Public Utilities Commission, Commissioner
11	Neil Millar, California Independent System Operator,
12	Executive Director for Infrastructure Development
13	CEC STAFF:
14	Aniss Bahreinian
15	Cary Garcia
16	Siva Gunda
17	Chris Kavalec
18	Sudhakar Konala
19	Heather Raitt
20	Nick Fugate
21	Lynn Marshall
22	
23	
24	CALIFORNIA REPORTING, LLC (JIU) 224-44/0

1		TNDEV	
		INDEX	_
2			Page
3	1.	Introduction	4
4	2.	Opening Comments	5
5	3.	Demand Forecast Update Overview, C. Garcia	9
6	4.	Behind-the-Meter Photovoltaic Forecast,	
7		S. Konala	14
8	5.	Light-Duty Electric Vehicle Forecast, A.	
9		Bahreinian	36
10	6.	Statewide Results, C. Garcia	50
11	7.	Hourly Demand Forecast and Monthly Peak Loads, C.	
12		Kavalec	61
13	8.	Utility Planning Area Results, C. Garcia	93
14	9.	Public Comment	109
15	10.	Adjournment	120
16	11.	Reporter's Certificate	121
17			
18			
19			
20			
21			
22			
23			
24			
25			
	L	CALIFORNIA REPORTING, LLC (510) 224 44/6	

1 PROCEEDINGS: 2 December 6, 2018 3 MS. RAITT: Welcome to today's IEPR 4 5 commissioner workshop on the 2018 IEPR demand forecast. I'm Heather Raitt, the project manager. I'll quickly go 6 7 over some housekeeping items before we get started. 8 Restrooms are in the atrium at the door to your left, 9 and if there's an emergency, we need to evacuate the building. Please follow staff across the street and 10 11 diagonal to Roosevelt Park. Today's workshop is being 12 broadcast through our WebEx system, so please be aware 13 that you're being recorded. We'll post an audio 14 recording on the Energy Commission's website and a transcript in about a month. There will be an 15 16 opportunity for public comments at the end of the day, and we'll limit comments to three minutes each. For those 17 18 of you in the room, who would like to make a comment, go 19 ahead and fill out a blue card and you can bring it to 20 me, and we'll have you come to the center microphone when 21 it's time for you to make your comments. 22 And for WebEx participants, I have some 23 instructions for you. You can use the "raise your hand" 24 feature that WebEx provides if you want to make a 25 comment. And we'll call you during the public comment · CALIFORNIA REPORTING, LLC (510) 224-4476

1	period. And using that same feature, the "raise your
2	hand" feature, you can also lower your hand if you
3	choose to withdraw your comment, and you can use the
4	chat function if you need to contact the WebEx
5	coordinator with any questions, or they can relay your
6	message to staff or presenters at the appropriate time, but
7	we will hold comments to the end of the day. For
8	phone-in participants, we'll open your lines after, after
9	the end of the meeting. And all the materials for the
10	workshop are at the entrance to the hearing room and
11	posted on the website. And written comments are welcome
12	and they're due on December 20th and the notice provides
13	all the information for making written comments.
14	And with that, I'll turn it over to the dais for
15	opening remarks. Thank you.
16	CHAIR WEISENMILLER: Great. Thank you.
17	I'd like to thank everyone for being here. Obviously,
18	one of the keys roles of the Energy Commission is demand
19	forecasting. Our forecasting is used by the other
20	stages of planning. So I want to welcome Commissioner
21	Randolph and Neil here today as part of this process.
22	It's certainly important not only to us but the other
23	agencies. So it's important to get it right. So
24	certainly looking for the opportunity. Staff's put a
25	lot of time in, sort of, upgrading the models and the

CALIFORNIA REPORTING, LLC (510) 224-4476

1	data this time, and we certainly appreciate the hard work
2	and looking forward for the rollout today and certainly
3	encourage everyone to help us really dig into it, and ther
4	you know, certainly will be some issues or problems,
5	we'd like to find them now. So anyway, thanks again.
6	COMMISSIONER HOCHSCHILD: Good morning, and,
7	and thank you all. I I'm also just really pleased we
8	have all five of us on the dais together, which has not
9	happened much for these. So and welcome your
10	colleagues as well and thank staff for putting this
11	workshop together and look forward to the discussion.
12	COMMISSIONER RANDOLPH: Thank you very much.
13	I really want to thank CEC commissioners for their
14	leadership and CEC staff for all of the work they have
15	done on the on, you know, tweaking this process and,
16	um, making the monthly forecast part of the IEPR process
17	and, and really excited to be able to have, um, sort of,
18	public input and transparency around these forecasts
19	that inform our, um, resource adequacy planning. So,
20	um, I really look forward to the detailed discussion,
21	um, and thanks for inviting me to participate.
22	MR. MILLAR: Hello. It's Neil Millar with
23	the California ISO. I also just wanted to, a, say thank you
24	for the opportunity to participate in the session today,
25	and B, I also just wanted to emphasize how important it
	CALIFORNIA REPORTING, LLC (510) 224-4476

I

1	is for the ISO both in our short and longer term
2	planning activities. The emphasis on forecasting work
3	and the importance if there's broad agreement on the
4	principles behind the forecasting that's so critical to
5	us, and we also really appreciate the amount of extra
6	effort both commission staff have done through actually
7	in advancing the coordination between the agencies.
8	Thank you.
9	COMMISSIONER MCCALLISTER: Great. So we
10	have a lot to talk about today, so I won't take much
11	time. But I want to this is Andrew McCallister, and
12	I want to thank Neil and Commissioner Randolph and
13	Neil Millar for coming, because our sister agencies in
14	this are just critical and just highlight that as we
15	move, you know, forthrightly, kind of, into the, the big
16	data era, you know, the digital age fully and update our
17	tools. The overarching goal here is to, as Commissioner
18	Randolph alluded to, increase the transparency and the,
19	sort of, both analytically and process-wise for the
20	forecast. You know, we have access to immense amounts of
21	data and this is a really a top level responsibility
22	of the Energy Commission. And certainly, if we want to
23	really do justice to this distributed energy world that
24	we live in, we have to really dig in and develop the
25	forecast itself to be much more

- CALIFORNIA REPORTING, LLC (510) 224-4476 ----

1	granular, much more temporally aware, and really focus,
2	be able to drill in, you know, to different, you know,
3	slice and dice the data in much more focused ways. And
4	so this, kind of, reflects the bigger the bigger
5	project that we have at the Energy Commission to, to
6	leverage all the great information that we now have in
7	today's day and age. And the forecast really has, I
8	think, has a heavier burden than ever on it to inform the
9	more the processes, which are, kind of, ever more
10	complicated and localized at all of the agencies. And
11	so, you know, I think having, managing a process that has
12	public input, and it really has a lot of back and forth
13	with various stakeholders to improve the transparency
14	and rigger of it. Not that it hasn't been, you know,
15	adequate in the past, but I think just the complexity of
16	it just demands that we do that now. But I think to get
17	to a usable really robust outcome, it's essential to
18	have this back and forth not only among the agencies but
19	also with the stakeholders, and I want to just thank
20	Siva and your predecessor, Silvia, for sort of setting this up
21	and also Cary and Nick and really the whole team we have
22	got, because I think we've built a great team to carry
23	this process forward.
24	So with that, I'll ask my fellow commissioners
25	no comments? All right. So Heather
	CALIFORNIA REPORTING, LLC (510) 224-4476

L

MS. RAITT: Great. So our first speaker 1 is 2 Cary Garcia from the Energy Commission to give an overview of the forecast. 3 MR. GARCIA: All right. Good morning, 4 5 commissioners and everybody else. I'm Cary Garcia. I'm a demand forecaster in the energy assessments 6 division. 7 I'm on the tail end of a cold. So if I sound a little 8 muffled or cough periodically, don't mind me, though. 9 Try to spray this whole area with Purell later on. 10 Excuse me. Miss a call once in a while, so I 11 have to turn my ringer on, and I forget to turn it back off. 12 13 All right. So we're going to get into the forecast update overview. Before I get started, though, 14 just a little bit of background on the forecast update 15 itself. So typically, we've done just our traditional 16 17 IEPR forecast where we do it every two years, but, you 18 know, given some of the stakeholder needs, um, 19 transmission planning process, um, we -- we've decided to 20 incorporate an update in between our annual IEPR 21 forecast. And so typically, we will simply update the 22 historical consumption sales and update the economic and 23 demographic information. But given the changes in 24 electric vehicles adoption, the changes in PV that are 25 occurring, we've decided to incorporate those updates as

CALIFORNIA REPORTING, LLC (510) 224-4476 -

Typically, we leave those, you know, as they were 1 well. 2 in the previous IEPR forecasts, but given the new 3 information that we have and the changes in those particular sectors, we include those as well. So this 4 5 will -- this update now will include the changes for the 6 economic and demographic drivers as well as an updated 7 EV forecast and PV forecast as well.

8 So just a little bit of background on the update 9 process, itself, particularly the economic portion. So 10 what we're really doing here is just re-estimating the 11 econometric models for our major sectors that we have; 12 residential, commercial, industrial, manufacturing, the mining sector, which is resource extraction, 13 construction, aq, and then transportation, communication, 14 utilities, or TCU, and then street lighting. So we run 15 those models, and we're basically running the 16 econometric models with the previous data that we've 17 had 18 in the 2017 forecast. We run them again with the newer 19 information, and then we apply the percentage 20 differences in the econometric forecast, net up the post 21 processed impacts that I mentioned. So EV being 22 something that's handled separately as well. So really, 23 it's, kind of, up lighting that baseline consumption forecast. 24

And as I said, electric vehicles is going to be

CALIFORNIA REPORTING, LLC (510) 224-4476 -

25

Re-estimated, along with self-generation, and then we 1 have new rate forecast as well. But as far as energy 2 3 efficiency, we really -- in terms of our additional achievable energies, we're really just adjusting 4 incremental 2017, and then moving that out towards 2018 5 6 and continuing on with that energy savings. Then I 7 should also add, we'll -- we do have an update as far as 8 the self-generation is concerned to the additional 9 achievable PV as well, but you'll see it's a small 10 change in comparison.

11 So our scenarios are the same as before. We have 12 a custom scenario that Moody's developed for us for our 13 high scenario that give us a better spread on that high 14 outlook. The mid demand scenario is Moody's baseline, and then our low demand scenario is below trend, 15 long-term growth, but that remained the same since 2018. 16 17 Just simply updated with the new information we have 18 for the scenarios.

19 So we can do our comparison here to the economic 20 drivers. So looking at per capita income on a statewide 21 level, we see that down a little bit in comparison to 22 2017. Population goes up just a tad but relatively flat 23 in comparison to 2017. Households also down. Gross 24 state product and manufacturing and commercial 25 employment. And you'll see this later on in terms of

- CALIFORNIA REPORTING, LLC (510) 224-4476 -

population still remaining strong, and even though 1 on 2 a statewide level, household went down, you'll see later in the presentation in the afternoon that some of 3 the planning areas, households still continuing to grow 4 while population, um, um, stays relatively flat. 5 But 6 overall, you see commercial sector going down. So 7 you'll see commercial sector consumption go down but 8 residential consumption still remains pretty strong.

9 So looking at some of the -- this is actually a 10 correction here. On the top there, it should say, 11 "Statewide per capita income" not "Personal income" in a 12 raw amount. But you can see the comparison here looking at that light blue line in the middle. There's really not 13 a whole lot of change compared to our mid case that we 14 have now, which is that grey line. They're pretty much 15 stacked onto each other, but in the end they're only small 16 fractions of a percent lower in comparison. Looking 17 at manufacturing output, we do see a slight decline 18 19 in comparison particularly towards the end, but you'll 20 see this in the economic information. What, sort of, 21 happens with Moody's adjustments is that the growth, kind 22 of, sped up in the near term, but then it, kind of, 23 bottoms out in the end. So we see this, kind of, um, 24 you know, what they projected in the near term, kind of, move a little bit closer. So you see a little bit 25 of

CALIFORNIA REPORTING, LLC (510) 224-4476 -

1	growth, but then in the long run, you end up seeing
2	lower overall growth, and you see this in manufacturing.
3	We see something similar in commercial. If you look at
4	that gray line right there, you see that, kind of, bump
5	up. So it moves a little bit sooner, but then it
6	declines. And there's lots of there's more decline
7	in that in comparison to 2018 or sorry the 2017
8	forecast. So we're about 1.37 percent lower. And you'll
9	see this play out where I show the commercial when I
10	show the function forecast with the planning areas.
11	Gross state product is down. This is mainly a driver
12	for, like, the industrial sectors. But that is
13	sorry. It's gross state product, in this case, is
14	higher. But the trend is definitely not growing as
15	fast.
16	So just real quick, I typically would just jump
17	straight into the statewide results right now, but I
18	think it makes more sense for us to get into the EV and
19	the PV as well before we move on to, sort of, set the
20	context for the statewide results. But if there's any
21	questions on the economic information, I'm
22	be happy to take them.
23	I think the biggest take home message is just
24	things are a little bit lower in commercial sector
25	drivers, but the residential stays about the same.
	CALIFORNIA REPORTING, LLC (510) 224-4476

I

MS. RAITT: Thanks Cary, So next is Sadar Konala from the 1 Energy Commission. MR. KONALA: Good morning, Commissioners. 2 Before I start with my presentation, I would just like 3 to thank -- he's my predecessor in this position, and 4 5 he's been very helpful in me getting up to speed on the PV forecasting models. 6 7 So before I get started with the PV forecast, I just wanted to go over our scenarios just briefly 8 9 because for our forecast, they're defined by electricity 10 demand. But in terms of PV, the -- it's, kind of, 11 inverted. So when we are projecting high electricity 12 demand, we're assuming low PV adoption. So you'll see a 13 word that says, "high," but the actual value will be low. Similarly, in the low electricity demand case, 14 15 we're assuming a high PV adoption. So this gets a 16 little tricky even for me sometimes. So I just want to clear the air just before I go through the forecast. 17 18 Okay. So this is a slide that I presented 19 before, but I just wanted to remind everybody how we do 20 that PV forecast. So we collect data in four main areas that includes installed capacity. We also collect 21 2.2 data in economic index and demographic data, 23 specifically, residential building count and commercial 24 floor space. We also have fuel price forecast from the

CALIFORNIA REPORTING, LLC (510) 224-4476 -

1	supply analysis office specifically in electricity
2	rates, and we also, um, look at PV installation costs,
3	and using all of this data, we feed our PV models. We
4	have two of them, the residential sector model and the
5	commercial sector model. Then we also have a third
6	model, which is essentially all other sectors. And
7	while in the residential and commercial sector, we
8	do use a predictor model. The third model is just a
9	trend analysis. So using these three models, we get a
10	statewide forecast for installed PV capacity, and then
11	we use assumptions of capacity factors to create a
12	forecast of energy generation from behind-the-meter PV.
13	So just a quick discussion on the updated inputs
14	for the 2018 forecast. So we updated installed PV
15	capacity through 2017 for the IOUs and SMUD and for some
16	of the smaller POUs. We really didn't have updated
17	data, so we retained the 2016 data. In terms of
18	demographic and economic data, again, we updated the
19	forecast for residential building count and commercial
20	floor space. We also had a new forecast for electricity
21	rates, and the big point from this is that electricity
22	rates, especially in the residential sector, tended to
23	be lower in the 2018 forecast than in the 2017 forecast.
24	We also updated PV installation costs. We revised
25	a few of the historical years and also added 2017

L

---- CALIFORNIA REPORTING, LLC (510) 224-4476 -----

1 values.

2	So a quick overview of historical statewide PV
3	installations, as of 2017, we had about 6,700 megawatt
4	hours of PV installed statewide and that was about
5	888,000 of installations that are known. And looking
6	forward to the forecast, we anticipate that by the end
7	of the year, there's going to be about 8,000 megawatts
8	of installed capacity, and we estimate that
9	installations will reach about 950,000. I also want to
10	go over sorry. Um, there was a comment. It's
11	megawatts. Not megawatt hours. I misspoke. Sorry.
12	So I just want to go over also where the
13	installation data comes from, because it comes from a
14	variety of sources throughout history. So initially,
15	the data we started collecting from the emerging
16	renewables program, and as other data sets were
17	available over time, we started using those. So here is
18	the timeline of the different data sets. So over time,
19	we've used also the S chip or the self-generation
20	incentive program, California Solar Initiative, new
21	Solar Homes Partnership, SB1POU, and more recently,
22	we've been using the IEPR Form 1.8, and for the 2017
23	forecast, the updates and installed capacity came from
24	the NEM interconnection data set published by the
25	CPUC.

- CALIFORNIA REPORTING, LLC (510) 224-4476 -

1	So I also quickly wanted to go over how some of
2	the inputs affected the PV forecast, a high level
3	overview. So, um, building residential building
4	count, we saw was lower throughout the residential
5	sector in all, all three scenarios actually, and this
6	had a negative impact on the PV forecast itself.
7	Electricity rates in the residential sector
8	were also lower in the 2018 forecast compared to 2017.
9	So this also has a negative impact. In the commercial
10	sector, floor space our projections of floor space
11	tended to be higher. So these, these this chart
12	represents the average across statewide for individual
13	utilities. You might see slight changes or a reverse on the signs, and I'll go through those as we go through the
14	energies and utilities. Electric rates were mixed in
15	the commercial sector. They were lower in the high
16	electricity demand case but higher in the lower
17	electricity demand case. There was also one
18	methodological change that I want to talk about briefly.
19	In the high demand case for the residential
20	sector, we revised how we did the adoption of PV systems
21	compared to the 2017 forecast. So just a little of
22	historical context. So in the 2017 preliminary IEPR
23	forecast, staff used bill savings metrics to
24	translate bill savings to adoption for IOUs and SMUD, and

I

- CALIFORNIA REPORTING, LLC (510) 224-4476 ----

this is specifically in the residential sector. 1 However, after the presentation for the preliminary 2 3 forecast, CEC management requested that a wider range be shown in scenario results. This led staff to consider 4 5 the use of another metric for the high demand case. 6 Specifically, staff used a payback period based on RW 7 Beck, which gave a much lower adoption rate. But due to 8 staffing and timing constraints, the revised 2017 IEPR 9 forecast applied a simple ratio adjustment to translate 10 adoption between the two metrics. For the 2018 IEPR forecast, we used the same payback metric, RW Beck, but we directly 11 12 applied it to the high demand case. And when examining 13 the difference between the 2017 IEPR and the 2018 IEPR, 14 the ratio adjustment used in the 2017 revised forecast 15 compared to the ratio used in the 2017 IEPR forecast, 2018 forecast looked to a much greater -- I'm sorry. 16 17 Let me restart that. 18 In examining the difference between the 2017 IEPR 19 and the 2018 IEPR, the ratio adjustment used in the 2017 20 IEPR led to a much greater downward adjustment than using in the payback curve in the 2018 IEPR. 21 2.2 So -- okay. So if there aren't any questions on 23 this, I will get moving into the actual forecast 24 results. Okay. So here's a chart showing installed 25 CALIFORNIA REPORTING, LLC (510) 224-4476

1	statewide capacity, both historical and forecast for the
2	State of California. As I said earlier, in 2017, we, we
3	estimate that there's about 6,700 megawatts of installed
4	capacity. In the mid case in 2030, we anticipate that
5	this will increase to 20,200 megawatts, an increase of
6	about 1,100 megawatts. In the low electricity demand
7	case, we anticipate growth going up to 25,600 megawatts,
8	which is a decrease from the 2017 forecast of about a
9	thousand megawatts, and in the high electricity demand
10	case, we forecast 14,950 megawatts, which is an increase
11	of about 3,300 megawatts from the 2017 forecast.All of
12	these numbers are of megawatts are in AC. So they
13	will be lower than the DC name plate rating that you often see
14	with systems.
15	So the changes in the 2018 forecast are driven by
16	two different underlying trends. So commercial
17	additions in the 2018 forecast were higher across all
18	three scenarios, but in terms of the residential sector,
19	additions were higher in the high scenario because of
20	the explanation about the change in methodology I
21	provided. In the in the low, low demand case in the
22	residential sector, additions were actually lower, and
23	this was due to, um, a lower growth in residential
24	housing count and as well as a lower growth in
25	electricity rates. And finally, in the mid case,
	CALIFORNIA REPORTING, LLC (510) 224-4476

residential additions were essentially the same as, 1 um, the 2017 forecast. 2 3 COMMISSIONER RANDOLPH: Can I -- can I ask a question. This, kind of, goes back to input. 4 MR. KONALA: Yeah. 5 6 COMMISSIONER RANDOLPH: Can you tell me а 7 little bit about the rates input, sort of, where, where 8 that comes from and --9 MR. KONALA: Yeah. So the rates are an 10 exogenous input into the forecast developed internally 11 at the CEC, but I receive it from another office. Um, the, um, analyst that does the rates has a dialog with 12 the individual utilities to come up with a rate 13 14 forecast. 15 COMMISSIONER RANDOLPH: Okay. And so did the -- so is there a particular reason why they were 16 showing lower rates in '18 than '17? 17 18 MR. KONALA: Yes, and she provided an 19 explanation yesterday, but I can't remember off the top 20 of my head. I know --21 COMMISSIONER RANDOLPH: Okay. I can follow 22 up. 23 MS. MARSHALL: We do our internal rate 24 projections and use that with a combination of data 25 that's submitted by utility. They submit their revenue · CALIFORNIA REPORTING, LLC (510) 224-4476 -

1	requirement projections, and we use that in conjunction
2	with staff assumptions on wholesale energy prices and
3	some other inputs. So for this forecast, the things
4	that we did a limited update to update it to current
5	electric rates and revenue requirements, um, and to
6	current wholesale procurement prices. Our last forecast
7	included an increase in natural gas prices that did not
8	occur. So the our forecast of wholesale price for this
9	rate forecast is lower. So that's one factor, and the
10	other is using some and FUC finally sent utility
11	advice letters on the impact of 2017 Tax Reform and
12	Jobs Act I think it's called, lowered revenue
13	requirements for the utilities. So the rates are still
14	increasing, but they're increasing at a lower rate.
15	COMMISSIONER RANDOLPH: Okay. Okay. That
16	makes sense.
17	CHAIR WEISENMILLER: Okay. For the
18	record, you should identify yourself.
19	MS. MARSHALL: Lynn Marshall, Energy
20	Commission staff.
21	CHAIR WEISENMILLER: And certainly,
22	Commissioner Randolph, I don't know if it would help
23	for her to connect with the PC staff. We could
24	certainly, she would be quite happy to do for sure.
25	COMMISSIONER RANDOLPH: Yeah. And that
	CALIFORNIA REPORTING, LLC (510) 224-4476

Γ

21

1	explanation made a lot of sense. Thank you so much.
2	MR. KONALA: Okay. So I also provided a
3	wanted to provide a brief overview of the breakdown of
4	where the capacity additions occur, um, breakdown by
5	planning area. So, um, actually not a whole lot of new
6	information, but I did want to show that, um, the
7	changes from the 2017 IEPR and the statewide results.
8	So again, there was a large increase in the high demand
9	case, a decrease in the lower demand case, and a slight
10	increase in the mid demand case in the installed
11	capacity compared to the 2017 forecast. Here is a chart
12	showing energy and gigawatt hours, and essentially, the
13	numbers are very similar. Energy is determined by
14	capacity. So the same trends are true.
15	So I also wanted to give an update for the AAPV
16	forecast, and I'll start with giving a brief explanation
17	of what the AAPV forecast really is. So AAPV, which
18	stands for Additional Achievable Photovoltaic adoption accounts for PV system requirements for new homes, as
19	specified in the 2019 Title 24 standards, which were
20	finalized this week I believe. So in the baseline
21	forecast, a certain percentage of new homes adopt PV
22	systems. Um, so the AAPV is just defined as difference
23	in PV adoptions for new homes due to the 2019 Title 24
24	regulations versus what new home PV adoptions were
25	already in the baseline forecast. So, um, some of the
	CALIFORNIA REPORTING, LLC (510) 224-4476

assumptions for the AAPV forecast that we used were the 1 same as the 2017 IEPR. So we have an expected level of 2 3 compliance of 90 percent in the low electricity demand case, 80 percent in the mid electricity demand case, and 4 70 percent in the high electricity demand case, and 5 our assumptions about average systems size -- also remain 6 the 7 same.

8 Here's a slide slowing some of the results for 9 the AAPV forecast in 2030. Um, well, I'm not going to go through each of the planning areas. I do want to 10 11 note that AAPV is actually higher in the high demand case and lowest in the low demand case. Um, and this is 12 because the, um, the growth in PV in the baseline 13 forecast is so much greater in the low demand case than 14 the high demand case that it is eating into AAPV. 15 So the AAPV, the difference of 90 percent, 80 percent, and 16 70 percent isn't a big enough difference so that 17 the 18 growth in the baseline forecast shows the lowest AAPV in the low case. 19 20 COMMISSIONER MCCALLISTER: Can I ask you a

21 quick question about that?

22

MR. KONALA: Yeah.

23 COMMISSIONER MCCALLISTER: So just to be 24 clear, what -- in terms of the solar requirement for the 25 new standards that was, you know, approved, adopted by

CALIFORNIA REPORTING, LLC (510) 224-4476 -

the building standards commission yesterday --1 2 MR. KONALA: Yeah. 3 COMMISSIONER MCCALLISTER: -- what's the plan for moving, you know, that from AAPV into the 4 baseline going forward? 5 6 MR. KONALA: Yeah. Going forward, it will 7 be part of the baseline. We will, again, revisit whether 8 the assumptions we have used in 2017, and 2018 forecast 9 are valid going forward into 2019. And if not, we will 10 change those assumptions, but in terms of the 11 methodology, with the AAPV portion of the forecast will 12 be fed into the regular baseline forecast. 13 CHAIR WEISENMILLER: Was that for this 14 year or for next year? 15 MR. KONALA: For next year. CHAIR WEISENMILLER: Okay. 16 17 MR. KONALA: AAPV is separate for this year. As we mentioned in the workshop earlier this year and a 18 19 lot of that has to do with AAEV as well. The plan is 20 to role AAPV and AAEV into the forecast for next year 21 One other point I'd like to make is that the AAPV 22 results in the 2018 forecast were lower than our 23 projections in the 2017 forecast, and this was caused by 24 two different factors that, kind of, squeezed the AAPV forecast in the 2018 IEPR. One of the reasons is, 25 in CALIFORNIA REPORTING, LLC (510) 224-4476 -

1	general, a higher baseline forecast and the second
2	reason is that household growth was lower in the 2018
3	forecast. So, um, both, both of these trends are just
4	squeezing the AAPV forecast this time around.
5	Okay. So I'll be moving towards individual
6	planning area results.
7	CHAIR WEISENMILLER: So let me ask
8	MR. KONALA: Yes.
9	CHAIR WEISENMILLER: Well, let me ask
10	two, two general questions. One of them was one of
11	the reasons for doing these annual updates was that
12	historically, our forecasts for PV were too low. Last
13	year, the industry reaction was that our forecast was
14	too high.
15	MR. KONALA: Yeah.
16	CHAIR WEISENMILLER: That we had not
17 18	taken into account the impacts of the PUC net metering decision. So I how did how
19	did we do, you know, relative to what was going on in
20	the market as opposed to what we were forecasting?
21	MR. KONALA: So in general, incorporating
22	the NEM 2.0 information did lower the forecast from
23	what it would have been, but the trends are still
24	pushing for the adoption of PV. So overall, the
25	forecast is slightly higher from 2017 to 2018, but if

Г

- CALIFORNIA REPORTING, LLC (510) 224-4476 ------

1	you look at adoption rates; they would have been higher
2	if it was just tiered rates or averaged rates instead of
3	time of use rates. So the rate structure is definitely
4	muting the growth of PV over time.
5	CHAIRMAN WEISENMILLER: Okay. My other
6	question was originally the inland model had a not
7	particularly inspiring R squared. I think it was like
8	point five or something. What how good is are the
9	regression results now in terms of goodness of fit
10	measures, coefficients?
11	MR. KONALA: Um, we don't really do an R
12	squared, so I don't have that information.
13	CHAIRMAN WEISENMILLER: Well, if you can
14	check on that
15	MR. KONALA: Yeah.
16	CHAIRMAN WEISENMILLER: statistical
17	goodness of fit, that would be good to know.
18	MR. KONALA: Okay.
19	CHAIRMAN WEISENMILLER: Go ahead. Sure. Go
20	ahead.
21	MR. FUGATE: In speaking with the demand
22	analysis office and I just wanted to comment on that.
23	So we haven't prepared anything on the in real model
24	results. We're still having preliminary work on that,
25	and our intention is to, sort of, look at that for the
	CALIFORNIA REPORTING, LLC (510) 224-4476

2019 IEPR forecast. 1 2 CHAIR WEISENMILLER: Okay. 3 MR. FUGATE: This is something we'll be workshopping on next cycle. 4 5 CHAIR WEISENMILLER: Okay. Good. 6 Thanks. 7 MR. KONALA: In the DAWG meeting NREL 8 provided their preliminary results, but they 9 emphasized they were extremely preliminary. So 10 essentially, what we did was we looked at the raw 11 results. 12 CHAIR WEISENMILLER: Okay. 13 COMMISSIONER MCCALLISTER: I'll add one more 14 question. 15 MR. KONALA: Yeah. 16 COMMISSIONER MCCALLISTER: So go back to your slide six, all the different data sources that you 17 used. 18 You know, in past years, we have, sort of, you know, had 19 to deal with some of the inconsistencies with those data 20 sets and, kind of, making sure they were apples to apples and apples. Have you -- well, particularly, with 21 2.2 the Form 1.8, but, you know, the other databases, CSI, 23 et cetera, how much ongoing work is there ensuring the 24 compatibility of all those data sets and, you know, 25 dealing with all differences in data quality and things - CALIFORNIA REPORTING, LLC (510) 224-4476 -

like that?
MR. KONALA: Um, we do look at the different
data sets, essentially, to make sure that when we're
combining the different data sets that there isn't
overlap. But, um, overall, we feel that if there's
reliable source. So if you look at the NEM
interconnection data, that actually goes back
historically through 1996 or 1998 or something. So when
we look at the other data sets and add them up, it's
similar or slightly um, it's slightly higher than
what NEMN is showing. Um, so if while you look at
any individual year, it might vary a little, like
slightly up or down. Overall, it's very comparable to
NEM but slightly higher.
COMMISSIONER MCCALLISTER: So you're
comfortable with being able to combine all these data
sets?
MR. KONALA: The reason why we don't just
use NEMN by itself is because we feel that so if
you look at the IEPR Form 1.8, which is the most
complete data set we've had in recent years, NEM tends
to underestimate the values in the IEPR Form 1.8 by
about three percent every year.
MR. MCCALLISTER: Interesting. And then
following up on some of the factors that influence, you
CALIFORNIA REPORTING, LLC (510) 224-4476

Γ

know, which direction it goes from year to year, has 1 2 there been any shift in the cost production trajectory 3 that has played a role here in terms of new construction 4 or just solar cost in general? MR. KONALA: Um, so there's been a slight 5 6 ridge downward in the cost, but I don't know that number 7 specifically off the top of my head. I can tell you that we 8 did do a revision of historical cost lower compared to the 9 2017 forecast and that was just, um, doing work analysis of the information and the NEM interconnection database. 10 11 I do want to point out that our estimates of cost are 12 higher than other entities, and that's just because the data from the NEM interconnection database is what 13 we use. So whatever our analysis of that database comes up 14 as is information we can use. 15 COMMISSIONER MCCALLISTER: In any case, it's 16 calibrated to -- I mean, the models are calibrated to 17 18 what actually happened historically. 19 MR. KONALA: Yeah. Yeah, we can do a calibration of the historical. 20 21 COMMISSIONER MCCALLISTER: Yeah. 22 MR. KONALA: Okay. 23 COMMISSIONER MCCALLISTER: Great. Okay. Thanks. 24 25 All right. So moving on to MR. KONALA: CALIFORNIA REPORTING, LLC (510) 224-4476 -

individual utility and planning area forecasts. 1 2 Okay. So here's the forecast for PG&E's planning 3 area. In -- so, um, so far, I've essentially presented capacity, but going forward, I'm going to present energy 4 generation systems, but the two forecasts are related. 5 6 So the trends in capacity are essentially shown in the energy generation slides as well. Um, so, um, in 2017, 7 8 um, we estimate that behind-the-meter energy systems 9 generate about fifty-one -- 5,100 gigawatt hours of In the mid case by 2030, we believe this will 10 energy. 11 be about 16,300 gigawatt hours, which is slightly higher than the 2017 forecast. In the low electricity demand 12 13 case, we forecast that energy generation will be about 14 22,000 gigawatt hours, and in the high electricity demand case that it will be around 12,000 gigawatt 15 16 hours. 17 Um, so the new mid case is about 8.5 percent 18 higher. This increase comes from more installations in 19 the commercial sector. A lot of this increase comes 20 from actual adoptions that we saw in 2017, which were 21 about 30 percent higher than what we forecast in the 22 commercial sector. Um, and this increase in the

24 slower growth in the electricity rates in the commercial 25 sector. There is a slight decrease in the residential

commercial sector forecast overcomes a forecast of

- CALIFORNIA REPORTING, LLC (510) 224-4476 -

23

adoption in PG&E's territory. However, this is limited 1 2 to the low and mid demand cases, and the high demand 3 case adoption is higher at more than 25 percent compared to the 2017 forecast, and this is just due to 4 methodological changes that I had specified earlier. 5 Here's a chart showing the different sectors 6 in 7 the mid case. The main thing I want to point out is 8 that while the residential sector remains the largest 9 portion of forecast of PV additions, a lot of the growth 10 in the early years was driven by faster growth in the 11 residential sector, and then growth in the residential 12 sector does slow down over time, and this is just because we're, kind of, reaching a saturation point 13 in -- with residential systems. That's why the AAPV 14 value's actually not significantly higher than the 15 baseline forecast. However, growth in the commercial 16 sector does accelerate over time. 17 18 Okay. So now, moving on to southern California Edison. Um, for 2017, we estimate that behind-the-meter

19 Edison. Um, for 2017, we estimate that behind-the-meter 20 PV generated about 3,700 gigawatt hours. We forecast 21 that to go to 12,100 gigawatt hours in 2030. In the low 22 electricity demand case, we project that to go over 23 15,000 gigawatt hours. In the high electricity demand 24 case, we project that to be about 9,000 gigawatt hours. 25 So for southern California Edison, the new mid case is

CALIFORNIA REPORTING, LLC (510) 224-4476 -

comparable to the 2017 IEPR. 1 The commercial sector does 2 have a higher starting point in 2017 similar to PG&E. 3 In this case, it's higher by about 20 percent in 2017 compared to our previous forecast. The low case is 4 5 lower, um, in the 2018 forecast, um, by about 14 6 percent. This is driven primarily by lower adoptions 7 in the residential sector, which is due to much lower 8 growth in electric rates compared to the 2017 forecast. 9 The growth is actually lower by about two percent a year 10 compared to the 2017 forecast. In the high case, the 11 growth is -- the growth in PV adoptions is higher by 12 about 38 percent, and this is driven by much higher adoption rates in the residential and commercial 13 14 sectors.

So for the sector forecast, essentially, 15 again, residential is a primary driver in the growth of PV 16 admissions, but unlike PG&E and foreshadowing unlike the other 17 18 POU's, San Diego Gas and Electric, we continue to see robust 19 growth in the residential sector over time, and this is 20 primarily because unlike the other IUOs, southern California Edison starts at a lower saturation rate and 21 22 it doesn't -- it doesn't hit the saturation of the other 23 IOUs in the forecast period. So it just keeps growing at a brisk pace. 24 Okay. Moving on to the last IOU, San Diego Gas

24 Okay. Moving on to the last 100, San Diego Gas 25 and Electric. We estimate that 2017 generation to be 26 CALIFORNIA REPORTING, LLC (510) 224-4476

1	about 14 gigawatt hours. In 2030, this is going to grow
2	to close to 4,000 gigawatt hours. The main thing to
3	point out is that all three demand cases in 2018 are
4	higher than the 2017 mid case. This is driven by much
5	higher commercial sector additions in all three cases.
6	Adoptions were higher in 2017 actual compared to the
7	forecast of commercial additions in 2017 in all cases.
8	Electricity rates also grow faster in the commercial
9	sector in 2018 for San Diego Gas and Electric compared
10	to the 2017 forecast. So, a higher initial base of
11	adoption and a higher forecast growth of electricity
12	rates essentially drives a higher growth in overall
13	commercial additions. The residential forecast is
14	higher in the high demand case and lower in the low
15	demand case. The lower growth in electricity rates and
16	household growth in the low demand, essentially, is the
17	reason for the low adoption in that scenario.
18	In looking at the sector forecast, it's a similar
19	graph as that of PG&E. San Diego actually has
20	currently has the fastest growth of PV adoptions, and
21	they're also the ones reaching the highest saturation
22	point in the residential sector. So after about the
23	early 2020s, you see that growth in the residential
24	sector is muted, but it's, um, it's, kind of, overcome
25	by much more increased growth in the commercial sector.

L

----- CALIFORNIA REPORTING, LLC (510) 224-4476 ------

Okay. So moving on to the, um, two big POUs in 1 2 the state. Here's the forecast for LADWP. So for LA 3 DWP, the latest historical data that we had was from 2016. So essentially, the 2018 forecast had the 4 same 5 installations as the twenty -- as the 2017 forecast. 6 But -- so any changes that you do see is related to 7 other inputs such as residential and building count and 8 electricity rates and PV installation costs. Overall, 9 the mid and low cases were similar to 2017 forecast, but 10 the high case was slightly higher. So, higher 11 residential -- higher residential adoption did occur in 12 all three cases, and this is driven by a higher forecast for electricity rates in the 2018 IEPR update compared 13 14 This was muted by lower commercial to the 2017 IEPR. adoptions overall. And in terms of the sector 15 forecast, you can see that, essentially, the residential 16 sector 17 dominates to a much higher percentage in LA DWP 18 territory than the other IOUs. 19 So moving on to SMUD. For 2017, we Okay. 20 forecast that there are about 274 gigawatt hours of 21 energy generated from by behind-the-meter PV. In 2030, 22 we forecast this increase to 748 gigawatt hours. 23 Overall, the new mid case is about 20 percent higher 24 than the 2017 IEPR forecast. The low and high cases are

25 also higher by about eleven percent and 60 percent

CALIFORNIA REPORTING, LLC (510) 224-4476 -

respectively. This is driven by much higher commercial 1 sector forecast in the -- than in the 2017 IEPR. 2 And 3 this is driven by a higher starting point in the 2017 installations compared to our 2017 forecast. 4 In terms of the residential additions, they were higher in 5 6 the high case, but they were similar to the 2017 7 forecast in the low and mid cases.

8 So this represents the last slide I have. The 9 big takeaway from all of the different slides is that, 10 um, the changes in the forecast were driven by input 11 changes, and in the residential sector, we had lower 12 electricity rates overall and lower growth and building 13 count, where in the electricity sector, both rates and projections of floor space were mixed. So we saw some 14 utilities have higher production and some utilities 15 have lower projections. 16

17 And finally, in the high electricity demand case, 18 we generally saw higher projections because of the 19 methodological change and since -- at least in the 20 residential sector, our mid electricity demand case is 21 just an average of the low and high. This 22 methodological change in the high electricity demand 23 case also drive a slightly higher mid electricity demand 24 case as well.

So I'll -- sorry. I forget about the final slide,

CALIFORNIA REPORTING, LLC (510) 224-4476 -

25
but I covered it. Okay. So that's all I have 1 unless 2 you guys have questions. 3 All right. Thank you. CHAIR WEISENMILLER: Great. 4 Thank you. And next is Aniss Bahreinian to 5 MS. RAITT: talk about the electric vehicle forecast. 6 7 MS. BAHREINIAN: Good morning, 8 commissioners, stakeholders. My name is Aniss 9 Bahreinian, and I'm presenting the PEV forecast update for this -- for 2018. I should also mention that the scope 10 11 of the update was limited to light duty plug-in electric 12 vehicles, and this is repetition of the slide that we 13 showed in the last workshop, and this includes now the 14 third quarter. As you can see here, between 2014 and 15 2017, the sum of the shares of green cars remains almost 16 the same. If you add up -- considering green cars as hybrids, PHEVs, and PEVs, and they're almost the same, 17 18 around 9.5, 9.6, but as you can see here for the first 19 time, this sum has grown to 11.2. So we see a 20 significant growth in the market, and most of this growth in the third quarter is due to the sales of 21 2.2 Tesla's Model Three. Many of you have heard about that. 23 So there were -- Tesla increased their production 24 capacity, and then managed to catch up with their 25 demand. And the result is a significant increase in, in - CALIFORNIA REPORTING, LLC (510) 224-4476 -

PEVs in the third quarter, and we expect that to 1 continue through the fourth quarter. And this -- as 2 3 if you also look at the graph and the table, you will see that starting in 2014, um, PEV sales -- and mid 4 2014 -- even though we had a decline in gasoline prices, 5 PEV sales started to go above the PHEVs. 6 That was in 7 mid 2014. And as you can see here, actually that trend 8 has continued to. So we continue to see more PEV sales 9 than the PHEV. This is consistent both with our survey. 10 Our survey also shows that consumers have higher 11 preferences for PEVs as compared with PHEVs. As you can 12 see the market supports that, too. Um, we also see that in 2018, for the first time, PEV alone is catching with 13 So you can see that the share is about 4.1 14 hvbrid. percent for PEV versus the same number, 4.1 percent, for 15 hybrid vehicles. So plug-in hybrid vehicles are 16 17 actually catching up and exceeding -- the sum of the two is actually exceeding the hybrid sales. 18 19 There are a couple trends that we need to be

aware of. One of them is the share of the light trucks in the new vehicle sales. As you can see here, light trucks, represented by the red line for the retail, is exceeding the passenger car category in 2017. And in this slide with the third quarter, we see the continued growth of light trucks. That's important for us because

CALIFORNIA REPORTING, LLC (510) 224-4476 -

what that point out is that we need to have more in this 1 2 car category for the PHEVs and EVs in order for the 3 market to gain momentum. We have -- in our forecast of makes and models for PHEVs, we are showing increase 4 numbers of announcements in the PHEV in the light truck 5 6 category. And also, there's a recent company who has 7 come to the market, and they are building -- they're 8 focusing specifically on this category. So we're also 9 going to have more EVs in this category with the new 10 announcements that are coming to the market.

11 So you can see here that retail cars are, are 12 going down by 10.5 percent and retail light trucks are going up by 5.6 percent. I should notice here --13 Ι should bring this to your attention that what we mean by 14 15 "light truck," it includes crossover SUVs, SUVs, pick-up trucks, and vans. You can even see it on streets. 16 The 17 other day, I was looking at a police officer who stops 18 somebody in the traffic. You could see that the police 19 officers who used to have these large cars, they now have crossover SUVs. So it is even evident on 20 the 21 roads.

22 MAN IN AUDIENCE: What is a light duty car? 23 MS. BAHREINIAN: Light duty car for our 24 purpose is anything that is less than 10,000. So 25 anything with a gross weight less than 10,000, we

· CALIFORNIA REPORTING, LLC (510) 224-4476 -

1 consider that light duty vehicle. Anything above that 2 weight category goes into the mid and heavy duty 3 vehicles.

That was the, um, statewide shares, but we should notice that there are differences in between different regions of California. As you can see here, it seems like southern California has a faster rate of decline in cars and a faster rate of the increase in light trucks. You can see the difference between northern California and southern California in this graph explicitly.

11 So also, I should say that in different 12 countries, you also have different shares. So you may 13 have an increase in light trucks in the US, but in some 14 other countries, that could be actually diverse.

15 Another trend that we should pay attention to is how many new vehicles are excelling. There has been a 16 decline in new vehicle sales in 2018. So we see a 17 18 decline. Some people refer to that as the car recession 19 has already started, but in any case, what we see here are the sales of vehicles in the market in California. 20 21 We're showing the used vehicle sales and the new vehicle 22 sales, and you can see that there's a decline in both 23 categories. Both used vehicle sales and new vehicle sales are declining. However, there's a smaller 24 25 decline, a much smaller decline in the used vehicle

- CALIFORNIA REPORTING, LLC (510) 224-4476 -

1	sales. So this is going to result if you look at the
2	last column, it is percentage of vehicles bought and
3	sold in California that is new. So these are the new
4	vehicle sales, percent new, and you can see that there's
5	also a decline in that. It is going down from 32
6	percent in 2017 to 31 percent in 2018. This is
7	important again for new technologies in general
, 0	including EVa and DUEVa because most of these are new
0	Including EVS and PHEVS because most of these are new
9	technologies, and they would go up. They would be more,
10	um, correlated with the new vehicle sales. So with the
11	decline in the new vehicles sales, we could also see a
12	drop, but interestingly, as you can see in the first
13	graph, PHEVs and EVs are actually growing.
14	COMMISSIONER SCOTT: Aniss, a clarifying
15	question for you on that last slide. It says that it's,
16	um, year-to-date through September. So is, is the
17	are the 2017 numbers for the entire year and the 2018
18	numbers are just through September?
19	MS. BAHREINIAN: Both of them are the same.
20	COMMISSIONER SCOTT: Oh, okay. So just
21	it's okay. Thanks.
22	MS. BAHREINIAN: In order to be able to
23	compare.
24	COMMISSIONER SCOTT: Right. Just checking.
25	MS. BAHREINIAN: So with this, we are going
1	CALIFURNIA REPORTING, LLC (510) 224-44/6

1 into our forecast actually. So all other ones are 2 actual data that we are seeing in the market and the 3 market trends. We should also notice that they're 4 forecasting overall. They are also forecasting a 5 recession coming in 2020. So there's going -- there 6 could be further decline in vehicle sales in that time.

7 This one, this graph shows our light duty vehicle 8 population. And as we can see here -- look at the top 9 two lines. These are our mid case and our low cases. Ι should -- and this clearly shows that our mid case is 10 not the average of the high end. They each have their 11 own characteristics and their own data. 12 We use different inputs for different, different cases here. 13

14 Notice here that we are using the same household populations. We only had two population scenarios, 15 and we used one of them for the low and the mid case. 16 And 17 we used the other one -- the higher one obviously -- for 18 the high demand case. Notice how close they are. Thev 19 are almost the same. If we - if we had to really blow up 20 the graph in order to even see the difference in these 21 lines as we can see in this graph. So they are pretty 22 close, mid case and low case, but the increase in 23 population, household population, or the higher 24 population -- household population in the hunt case is 25 mainly responsible for the higher numbers of light duty

- CALIFORNIA REPORTING, LLC (510) 224-4476 -

1 vehicle populations in the high case.

In order, as you can see here, 2 So what do we do. 3 our light duty vehicle population. We're pretty close 4 to each other. So we have to diverge them. How do we 5 do that. We try to capture some of these uncertainties that exist in the market with different scenarios 6 that 7 we have for PVs. And those different scenarios, as you 8 will see in the later slides, are going to create a 9 wider range in our forecast of PEVs. This shows -- this 10 shows all the -- all the relevant or the important or key input into our PEV forecast. And as you know 11 12 many of you know, we are using a lot of data in order to 13 generate our forecast. This is only a portion of the 14 data that we are using. We, of course, are using the 15 household population, fuel prices, and income that the rest of our office is using in generating forecast of 16 17 demand, but when we're focusing on the PEVs, we are 18 looking at some of these key inputs into the PEV scenarios. 19 The first one is, of course, the consumer 20 preferences. With -- for the consumer preferences, in 21 the low case, we make the assumption that consumer 22 preferences are going to remain constant for the PEV. 23 They don't change for the ZEV vehicles in general, and 24 they don't change, and they are remaining the same. 25 However, in the reference high and aggressive cases that

CALIFORNIA REPORTING, LLC (510) 224-4476 -

we have here, we are increasing consumer preferences 1 2 with the growth in the PEV market. This is reasonable because even our survey shows that those who open PEV or 3 the PEV owners are more likely to be repeat buyer of 4 5 PEV. In other words, those who currently own PEVs, they 6 are more likely to buy PEVs for their next vehicle. So 7 it is only reasonable to have these assumptions for the 8 reference high and aggressive cases. As the market 9 grows, so does the consumer preferences for these vehicles. 10

11 The next category of inputs that we are using, of 12 course, are the government incentives, and these are our policy variables. We have the federal tax credit and 13 you all have heard about the news -- I think it came out 14 this week -- of the federal government's intention to 15 just do away with the federal tax credit. We haven't 16 17 quite captured that if they stop issuing the tax credits 18 in 2019. However, as you can see here, in the low case, 19 we are somewhat capturing that. We are eliminating it 20 after 2022. So our low case forecast is based on the 21 assumption that tax credits will be eliminated after 22 2022. In other cases, in all the other cases, we are maintaining our tax credits. Federal tax credit is in 23 24 place, but as you know, some of the vehicles are going 25 to lose their tax credits, like Tesla and GM, because

· CALIFORNIA REPORTING, LLC (510) 224-4476 -

they are sold over the threshold, the 200,000 threshold. 1 And therefore, the amount of -- we are making 2 3 adjustments by reducing the amount of tax credit over the different scenarios that we have. 4 5 The next policy table, which is state related, is 6 the state rebate, and we are keeping the state's rebates 7 in place until 2025 for all of the scenarios, but in the 8 aggressive case, we are extending that to 2030 for the 9 PEV and FVE, which are considered pure exempt vehicles. I should also mention that in our model, in our 10 11 forecast, we are -- when we include state rebate, we 12 provide that to all of the PEVs that are sold in the market, whereas, in reality, if you can imagine there 13 14 are some income thresholds that have been introduced into a legitimate criteria, but in our forecast, we are 15 granting that to 100 percent of the vehicles that are 16 purchased in the market. 17 18 When it comes to the HOV access, we are

19 maintaining the HOV access to 2025 only in the high 20 scenarios, and we are extending it to 2030 only, again, 21 for the pure ZEV vehicles; that is, the PEV and FCV. 22 As it comes to the vehicle attributes, availability of 23 PEVs; that is, the number of makes and models that are 24 available in the market. In the low and the reference 25 scenario, these are available in 14 PEV models and

CALIFORNIA REPORTING, LLC (510) 224-4476 -

available in 14 of the 15 CEC LDV classes. 1 So when we 2 are forecasting our light duty vehicle demand, we are 3 forecasting for each class of vehicle. In other words, when we're 15 classes of vehicle, we are forecasting 4 5 them one by one and by each of the technologies. But in the reference and in the -- in the reference and in the 6 7 low case, we do have PEV models in 14 of the 15 classes 8 of vehicles versus in the high and the aggressive cases 9 where we are offering 15 PEV classes in, in the model. So we have them available in 15 classes. 10

11 Our vehicle prices are essentially determined by 12 battery prices -- not essentially, but they are derived 13 from the battery prices. So it is important for us to know what those battery prices are going to be. 14 The forecast of battery prices are important to price of the 15 vehicles. This -- in different scenarios, we start 16 out 17 with \$120 in the low case per kilowatt hour to \$100 in 18 reference and \$80 in the high case. In the aggressive 19 case, however, we are going as low as \$70, which is what 20 Bloomburg is forecasting for the low price forecast of 21 Bloomburg. We also did another adjustment to the 22 vehicle prices this time around because of the tariffs 23 as we mentioned before. Tariffs on aluminum and steel 24 are, obviously, going to increase prices of vehicles, but they are going to be applied to all vehicles not 25

- CALIFORNIA REPORTING, LLC (510) 224-4476 -

just PEV, but we apply that to all of the vehicles. 1 We 2 account for that in the low scenario. And so the aluminum and, and steel tariffs are already in place, 3 and we applied that in the low scenario, but we did not 4 5 apply that in the reference high and aggressive We all know that there is all these talks 6 scenario. 7 about the trade war and not just the aluminum and steel 8 tariffs, but also tariff on, on cars in general and 9 automotive parts. But since it is lawful right now, we 10 didn't really do anything about it. We just assume they 11 don't exist, but we did apply aluminum and steel in the low demand case. 12

13 As it comes to the range, we have higher ranges in -- for our PEVs and in this forecast as compared with 14 last forecast consistent with the advances in the 15 technology that we have seen in the market. The numbers 16 17 that you see here for range, these are sales ranked 18 averages. So we are taking whatever shows as sales in 19 our model, and we are multiplying by ranging different 20 classes are different, and these are the numbers that 21 are pretty good actually. We have pretty good ranges. 22 Here in the high and aggressive case, we are about 280 23 miles versus reference at 260 and the low in 250 miles. 24 When it comes to the refueling time, we have

25 generally just considered the fast chargers here, and as

· CALIFORNIA REPORTING, LLC (510) 224-4476 -

1	you can see here in the low and reference cases, we have
2	about 15 to 21 minutes, and in the high cases, we have
3	10 to 16 minutes. Again and consider this only on
4	the fast chargers. As it comes to the time to station,
5	our criteria really comparison is to gasoline vehicles.
6	So does it take more time than gasoline to, to, to reach
7	a station to fuel your car with gasoline compared to an
8	EV. And as you can see here, in the reference high and
9	aggressive, we are assuming or we have reaching same
10	amount of time, same number of minutes as you would
11	require to reach a gas station. It is only in the lower
12	case that it is taking seven, to eight, minutes to
13	reach a charging station, but in the reference high and
14	aggressive, it is the same thing as we assume for the
15	gasoline stations, which is about five minutes. Now,
16	given these and we are coming up with the 2030 ZEV
17	population ranging from 2.6 million in the low case to
18	5.47 million in the high case I'm sorry in the
19	aggressive case.
20	COMMISSIONER SCOTT: Aniss, before you move
21	on from that slide, one thing that the, the forecasting
22	them and I talked about here with the both the
23	refueling time and the time to station, um, just it's
24	important to note that that's to a PV fast charger in
25	most instances, and it's a little bit difficult to

----- CALIFORNIA REPORTING, LLC (510) 224-4476 -----

1	capture, "I plugged in at my house," right, which is no
2	time to station or "I plugged in at my work," which is
3	also no time to station, and that's something that we're
4	thinking about how to dig into to add some additional
5	granularity here, but this is to fast chargers.
6	MS. BAHREINIAN: Thank you. So this is
7	going to give us the statewide light duty ZEV population
8	forecast. So as you can see here in our high case, we
9	are exceeding the focus plan update of 2017. We are
10	at 4.4 mill vehicles, ZEV vehicles. We had about 4.2
11	million in last IEPR, and now is it important 4.4
12	million. In the high case at about 5.5 million, we are
13	exceeding the goal that is set in the Governor's
14	executive order for ZEVs. Because some people ask
15	questions, I think it is important to clarify that
16	Governor's executive order, the goal there, the five
17	million, is really ZEV not PEV, and that's important to
18	know, which means that it includes SEVs or hydrogen
19	vehicles as well as plug-in hybrid vehicles.
20	So finally, coming down to the PEV forecast. We
21	have our forecast changes from two and a half million
22	in 2030 for the low case to 5.3 million in the high
23	case, in the aggressive case. So the numbers are
24	actually pretty good. We are exceeding a lot of the
25	expectations, even some that have been set in other
	CALIFORNIA REPORTING, LLC (510) 224-4476

I

future studies that have been presented in different 1 2 places. Now, what is important about our forecast, 3 which is different from many other forecasts, except for 4 Bloomburg, is the composition of the plug-in electric The composition in our forecast shows a lot 5 vehicles. higher PEVs than PHEV, which is true in all of our 6 7 scenarios. In all of our scenarios, we are showing more 8 PEVs than PHEVs and that is the direct result of the 9 survey that we completed in 2017, which showed consumers 10 have higher preferences for PEVs as compared to PHEVs. 11 As you know, the recent announcement by GM that they're 12 going to drop -- is perhaps further support for what we are doing here but it is only our forecast and 13 14 Bloomburg's forecast that is showing the higher numbers of PEVs in the forecast. And I think -- so as a result 15 of that, we come down to electricity consumption 16 forecast. And I should mention up front that one of the 17 18 assumptions -- consumption electricity fuel conception 19 in general is the result of fuel economy, number of 20 vehicles on the road, as well as the VMT. I should say 21 that we made the assumption that PEVs have the same 22 number of miles as all the other vehicles. So the 23 assumption in our model is that PEVs have -- drive the 24 same number of miles as all other fuel types. 25 Eventually, that is what has to be, and this is the

CALIFORNIA REPORTING, LLC (510) 224-4476 -

1	longer term forecast. So we have the same number of
2	miles, and we also have lower PHEV lower number over
3	PHEV compared to others. The result is that electricity
4	consumption is also growing almost parallel to our PEV
5	population growth. And it starts with about 2,000 in
6	2017, and it goes all the way to 18,000 in the high case
7	in 2030. So it is growing faster than the growth in, in
8	total electricity demand, and as a result, the share of
9	the electricity consumption for the PEVs is growing as a
10	share of total electric conception in the state.
11	Finally, it takes a village to raise a forecast,
12	and as you can see here, there are a large number of
13	people here who are involved in this. We have a great
14	number of team members here, and we are listing all of
15	those. I dropped one of them. I, I overlooked one of
16	them, and that is one of our students who has just
17	recently joined us, and he did a lot of work actually in
18	determining the impact of aluminum and steel on the
19	prices of vehicles. So he did a lot of work on that.
20	His name is Alex Longday, and I'm sorry that I excluded
21	his name from this list.
22	Any questions?
23	CHAIR WEISENMILLER: Great. Thanks
24	again.
25	MS. RAITT: so next is Cary Garcia again.
	CALIFORNIA REPORTING, LLC (510) 224-4476
	, , , , , , , , , , , , , , , , , , , ,

1	MR. GARCIA: All right. I'm back. So we're
2	going to get into some of the statewide results. I
3	think that is a better plan than we've previously did.
4	So you get some context of the electric vehicle PV
5	forecast, but before I get into the results, I should
6	have mentioned this earlier, but we have shared with our
7	stakeholders the actual raw results and data, but we're
8	still printing up the forms, the actual forms that we
9	produce. So when you get those out early next week, but
10	if any stakeholders have any questions during the
11	comment period, feel free to contact us, and we can walk
12	you through that and share any additional number or
13	details on the forecast. So I just wanted to throw that
14	out there.
15	CHAIR WEISENMILLER: I was just going to
16	say also if anyone thinks that our WebEx might help, you
17	know, just let you know.
18	MR. GARCIA: Sorry about that. Okay. So,
19	kind of, the biggest changes here, as you saw in the
20	economic and demographic projection, is really the
21	commercial sector that saw the biggest declines and that
22	was due to the commercial employment going down quite a
23	bit and some smaller decline in the agriculture sector,
24	but residential, given that one of the biggest drivers
25	is persons per household. So household decline alone in

CALIFORNIA REPORTING, LLC (510) 224-4476

1	the population remained about the same, and then you
2	also have some a slight decrease in the rates as
3	well. And then in some of the planning areas I'll get
4	to later this afternoon, you'll see that percolating
5	income doesn't necessarily decline into the planning
6	area, which is also another driver for residential
7	sector. So and then you'll also see some small
8	changes in the resource extraction, a higher level for
9	GSP, which is a big driver there with the mining sector.
10	So that grows ever so slightly in the planning area, but
11	I guess the biggest take home is that you're really
12	going between residential growth and commercial decline,
13	and so you end up with something very flat. And you'll
14	see here in the in the next slide that really
15	consumption and sales are about the same. It's really
16	not a lot of big changes in this case. Probably more
17	changes in the high scenario relative to 2017 but
18	mostly, we're, kind of, along the same path. So before
19	I get into the major actual statewide results, I just
20	want to point out that we do include climate change
21	impacts. And so this is what we we haven't made any
22	changes to the projections that we incorporated last
23	year. We're simply adjusting them similar to AME in
24	that we're adjusting them to be incremental to this new
25	starting point. So overall, we have about 1280 gigawatt

— CALIFORNIA REPORTING, LLC (510) 224-4476 —

hours of climate change impact in the mid case and a 1 2 little bit more so -- in the high demand case. So low 3 demand -- the low scenario doesn't really include any 4 climate change impacts at all. So these climate impacts are mainly around increases in cooling and heating 5 degrees, and we've developed those based on climate 6 7 change projections that we've received -- and make those 8 adjustments there. This is a similar climate change 9 impact from the peak side. We see it's a little bit 10 more spread on the high scenario in comparison to the 11 energies, but once again, about 740 megawatts of the 12 peak demand impact by 2030.

13 So looking at statewide consumption as I 14 mentioned, you know, you have that trade-off between residential consumption, you know, maintaining and if 15 not growing a little bit; while commercial sector, kind 16 17 of, drops off, and so you end up with something very 18 similar to what we had last time. Actual consumption is 19 a tad bit higher in 2017. At the mid case is just а 20 little bit lower there. You see 0.11 percent, but by 21 and large, the trend is about the same going forward. 22 And if I were to put up -- I mean, obviously, we get --23 all the higher scenarios from last time. You see that 24 high scenario as being a little bit higher than last 25 time. Whereas, the low scenario is, I think, a little

· CALIFORNIA REPORTING, LLC (510) 224-4476 -

1	bit a little bit lower than previous.
2	So looking at statewide sales, same thing.
3	Really, as Sudhakar mentioned before, there really
4	wasn't a whole lot of change in the PV. There were some
5	minor adjustments, but in the end, it, kind of, all
6	shakes out to being very small change on a statewide
7	level, but once again, just ever so slightly lower in
8	our mid case and compared to 2017. So we're right under
9	maybe 290,000 gigawatt hours or so. So as I mentioned, we
10	didn't make any changes to the Additional Achievable
11	Energy Efficiency, but what we did do was, once again,
12	adjust that incremental to the new starting point. So,
13	so in the mid, mid scenario for 2017 or sorry. In
14	the mid scenario for this new update, we're about 35,600
15	gigawatt hours of electricity. I don't have it here,
16	but the peak demand of reduction is about 11,200
17	megawatts, but once again, these are basically the same
18	as we've had last year, and we'll update these again in
19	the 2019, but we keep them the same for the update.
20	In looking at managed sales so the managed
21	sales forecast will include the mid case for AAEE as
22	well as the mid case for AAPV. In this case, we're a
23	little bit higher and, as Sudhakar mentioned in the
24	his in discussion about AAPV, there was some of that
25	squeezing a little bit so there was a little bit less

L

L

CALIFORNIA REPORTING, LLC (510) 224-4476

AAPV relative to 2017 so that you see that mid case 1 2 managed sale in that long-term protection. But 3 otherwise, the basic trend is more or less the same given that the consumption is about the same and the 4 sales projection is relatively the same. 5 That's what I have for this piece. 6 I have 7 another slide to talk about, but if there are any 8 questions from the dais on the economic projections. 9 CHAIR WEISENMILLER: We're good. Thanks. 10 MR. GARCIA: All right. I wish there was 11 something more exciting I could show that there was 12 dramatic changes in the economy but I think -- I think 13 what really is happening is folks are unsure about what's going to happen in the future I think, and as 14 Aniss mentioned, you know, there potentially is going to 15 be a downturn, where we have, you know, one percent 16 economic growth by 2020. But I don't think we're quite 17 18 there yet. Everybody keeps feeling like we're going to 19 get there. So I think, perhaps, in 2019, we might see 20 some of those changes occur, but, you know, with tariffs 21 and all these other things, GM is changing some things. 22 So we might just be right in the middle of where we're 23 going to start seeing some major changes in the future. 24 But right now I think everybody is, kind of, holding, 25 kind of, like, keeping projections about the same.

· CALIFORNIA REPORTING, LLC (510) 224-4476 -

1 CHAIR WEISENMILLER: I think so. I think 2 there's been some drop in the state's revenue -- but 3 again, everyone's, sort of, waiting for the other shoes 4 to drop.

Exactly. And then one thing 5 MR. GARCIA: I 6 wanted to mention in the process for this year is that 7 we've revaluated our weatherization process and that was 8 partly due to stakeholders seeing some bouncing year to 9 year into what our estimated projections were for the 10 weather starting point, and so in this, this year, we 11 tested several models to basically see what we could do 12 about alleviating some of that balancing. Presented this analysis to the DAWG and mentioned census on this 13 solution, which is, essentially, we want to make sure 14 we're applying a consistent form and -- to our models 15 over time, and then what we need to do is evaluate those 16 17 models, sort of, in a rolling window looking at forecast 18 error and particularly around the, the one example is 19 using the top five peaks to make sure we're still -- the 20 model maintains the best performance. And if we need to 21 reevaluate it, we can use this test of error and then 22 bring that to the stakeholders, and then go through this 23 process, either through the DAWG as well as the JASC to 24 make sure we're still on the same, same page. 25 COMMISSIONER MCCALLISTER: I want to just

CALIFORNIA REPORTING, LLC (510) 224-4476 -

1highlight the importance of this because we need to make2sure that we get the smoother year to year as we need,3but we also don't want to lose sight of the reality that4we're trying to model, right. So, so and as climate5change and as we get less predictable weather, we're6going to have to try to find the balance. And that's an7ongoing process year to year that really does depend on8this collaboration across the agencies. So I just want9to make sure that that's, sort of we're, kind of, as10transparent about that as possible so we can both, you11know, keep things understandable but also capture the12reality out there not just, sort of, end up dependent on13these models with specific, you know, with14specifications that are difficult to change. So15MR. GARCIA: Right.16COMMISSIONER MCCALLISTER: You know, so17thanks a lot, and I think that, you know, the18certainly goes on every day is really important to let20everybody know what we're doing.21MR. GARCIA: Yeah. And there was some22really great, I think, conversations in the JASC and the23DAWG meetings as well in particularly around climate. I24think that's something I would like to explore next year25to see, and I think one of the biggest conversations		
2sure that we get the smoother year to year as we need,3but we also don't want to lose sight of the reality that4we're trying to model, right. So, so and as climate5change and as we get less predictable weather, we're6going to have to try to find the balance. And that's an7ongoing process year to year that really does depend on8this collaboration across the agencies. So I just want9to make sure that that's, sort of we're, kind of, as10transparent about that as possible so we can both, you11know, keep things understandable but also capture the12reality out there not just, sort of, end up dependent on13these models with specific, you know, with14specifications that are difficult to change. So15MR. GARCIA: Right.16conss-agency collaboration with these and staff17certainly goes on every day is really important to let20everybody know what we're doing.21MR. GARCIA: Yeah. And there was some22really great, I think, conversations in the JASC and the23DAWG meetings as well in particularly around climate. I24think that's something I would like to explore next year25to see, and I think one of the biggest conversations	1	highlight the importance of this because we need to make
but we also don't want to lose sight of the reality that we're trying to model, right. So, so and as climate change and as we get less predictable weather, we're going to have to try to find the balance. And that's an ongoing process year to year that really does depend on this collaboration across the agencies. So I just want to make sure that that's, sort of we're, kind of, as transparent about that as possible so we can both, you know, keep things understandable but also capture the reality out there not just, sort of, end up dependent on these models with specific, you know, with specifications that are difficult to change. So MR. GARCIA: Right. COMMISSIONER MCCALLISTER: You know, so thanks a lot, and I think that, you know, the cross-agency collaboration with these and staff certainly goes on every day is really important to let everybody know what we're doing. MR. GARCIA: Yeah. And there was some really great, I think, conversations in the JASC and the DAWG meetings as well in particularly around climate. I think that's something I would like to explore next year to see, and I think one of the biggest conversations	2	sure that we get the smoother year to year as we need,
4 we're trying to model, right. So, so and as climate 5 change and as we get less predictable weather, we're 6 going to have to try to find the balance. And that's an 7 ongoing process year to year that really does depend on 8 this collaboration across the agencies. So I just want 9 to make sure that that's, sort of we're, kind of, as 10 transparent about that as possible so we can both, you 11 know, keep things understandable but also capture the 12 reality out there not just, sort of, end up dependent on 13 these models with specific, you know, with 14 specifications that are difficult to change. So 15 MR. GARCIA: Right. 16 COMMISSIONER MCCALLISTER: You know, so 17 thanks a lot, and I think that, you know, the 18 cross-agency collaboration with these and staff 19 certainly goes on every day is really important to let 12 everybody know what we're doing. 13 MR. GARCIA: Yeah. And there was some 14 really great, I think, conversations in the JASC and the 15 DAWG meetings as well in particularly around climate. I 14 think that's something I would like to explore next year 15 to see, and I think one of the biggest conversations	3	but we also don't want to lose sight of the reality that
change and as we get less predictable weather, we're going to have to try to find the balance. And that's an ongoing process year to year that really does depend on this collaboration across the agencies. So I just want to make sure that that's, sort of we're, kind of, as transparent about that as possible so we can both, you know, keep things understandable but also capture the reality out there not just, sort of, end up dependent on these models with specific, you know, with specifications that are difficult to change. So MR. GARCIA: Right. COMMISSIONER MCCALLISTER: You know, so thanks a lot, and I think that, you know, the cross-agency collaboration with these and staff certainly goes on every day is really important to let everybody know what we're doing. MR. GARCIA: Yeah. And there was some really great, I think, conversations in the JASC and the DAWG meetings as well in particularly around climate. I think that's something I would like to explore next year to see, and I think one of the biggest conversations	4	we're trying to model, right. So, so and as climate
6 going to have to try to find the balance. And that's an ongoing process year to year that really does depend on this collaboration across the agencies. So I just want to make sure that that's, sort of we're, kind of, as transparent about that as possible so we can both, you know, keep things understandable but also capture the reality out there not just, sort of, end up dependent on these models with specific, you know, with specifications that are difficult to change. So MR. GARCIA: Right. COMMISSIONER MCCALLISTER: You know, so thanks a lot, and I think that, you know, the cross-agency collaboration with these and staff certainly goes on every day is really important to let everybody know what we're doing. MR. GARCIA: Yeah. And there was some really great, I think, conversations in the JASC and the DAWG meetings as well in particularly around climate. I think that's something I would like to explore next year to see, and I think one of the biggest conversations	5	change and as we get less predictable weather, we're
7 ongoing process year to year that really does depend on 8 this collaboration across the agencies. So I just want 9 to make sure that that's, sort of we're, kind of, as 10 transparent about that as possible so we can both, you 11 know, keep things understandable but also capture the 12 reality out there not just, sort of, end up dependent on 13 these models with specific, you know, with 14 specifications that are difficult to change. So 15 MR. GARCIA: Right. 16 COMMISSIONER MCCALLISTER: You know, so 17 thanks a lot, and I think that, you know, the 18 cross-agency collaboration with these and staff 19 certainly goes on every day is really important to let 19 everybody know what we're doing. 20 MR. GARCIA: Yeah. And there was some 17 really great, I think, conversations in the JASC and the 20 DAWG meetings as well in particularly around climate. I 21 think that's something I would like to explore next year 22 to see, and I think one of the biggest conversations	6	going to have to try to find the balance. And that's an
8 this collaboration across the agencies. So I just want 9 to make sure that that's, sort of we're, kind of, as 10 transparent about that as possible so we can both, you 11 know, keep things understandable but also capture the 12 reality out there not just, sort of, end up dependent on 13 these models with specific, you know, with 14 specifications that are difficult to change. So 15 MR. GARCIA: Right. 16 COMMISSIONER MCCALLISTER: You know, so 17 thanks a lot, and I think that, you know, the 18 cross-agency collaboration with these and staff 19 certainly goes on every day is really important to let 12 everybody know what we're doing. 12 MR. GARCIA: Yeah. And there was some 13 really great, I think, conversations in the JASC and the 14 DAWG meetings as well in particularly around climate. I 15 think that's something I would like to explore next year 16 to see, and I think one of the biggest conversations	7	ongoing process year to year that really does depend on
9 to make sure that that's, sort of we're, kind of, as transparent about that as possible so we can both, you know, keep things understandable but also capture the reality out there not just, sort of, end up dependent on these models with specific, you know, with specifications that are difficult to change. So MR. GARCIA: Right. COMMISSIONER MCCALLISTER: You know, so thanks a lot, and I think that, you know, the cross-agency collaboration with these and staff certainly goes on every day is really important to let everybody know what we're doing. MR. GARCIA: Yeah. And there was some really great, I think, conversations in the JASC and the DAWG meetings as well in particularly around climate. I think that's something I would like to explore next year to see, and I think one of the biggest conversations	8	this collaboration across the agencies. So I just want
transparent about that as possible so we can both, you know, keep things understandable but also capture the reality out there not just, sort of, end up dependent on these models with specific, you know, with specifications that are difficult to change. So MR. GARCIA: Right. COMMISSIONER MCCALLISTER: You know, so thanks a lot, and I think that, you know, the cross-agency collaboration with these and staff certainly goes on every day is really important to let everybody know what we're doing. MR. GARCIA: Yeah. And there was some really great, I think, conversations in the JASC and the DAWG meetings as well in particularly around climate. I think that's something I would like to explore next year to see, and I think one of the biggest conversations	9	to make sure that that's, sort of we're, kind of, as
know, keep things understandable but also capture the reality out there not just, sort of, end up dependent on these models with specific, you know, with specifications that are difficult to change. So MR. GARCIA: Right. COMMISSIONER MCCALLISTER: You know, so thanks a lot, and I think that, you know, the cross-agency collaboration with these and staff certainly goes on every day is really important to let everybody know what we're doing. MR. GARCIA: Yeah. And there was some really great, I think, conversations in the JASC and the DAWG meetings as well in particularly around climate. I think that's something I would like to explore next year to see, and I think one of the biggest conversations	10	transparent about that as possible so we can both, you
reality out there not just, sort of, end up dependent on these models with specific, you know, with specifications that are difficult to change. So MR. GARCIA: Right. COMMISSIONER MCCALLISTER: You know, so thanks a lot, and I think that, you know, the cross-agency collaboration with these and staff certainly goes on every day is really important to let everybody know what we're doing. MR. GARCIA: Yeah. And there was some really great, I think, conversations in the JASC and the DAWG meetings as well in particularly around climate. I think that's something I would like to explore next year to see, and I think one of the biggest conversations	11	know, keep things understandable but also capture the
these models with specific, you know, with specifications that are difficult to change. So MR. GARCIA: Right. COMMISSIONER MCCALLISTER: You know, so thanks a lot, and I think that, you know, the cross-agency collaboration with these and staff certainly goes on every day is really important to let everybody know what we're doing. MR. GARCIA: Yeah. And there was some really great, I think, conversations in the JASC and the DAWG meetings as well in particularly around climate. I think that's something I would like to explore next year to see, and I think one of the biggest conversations	12	reality out there not just, sort of, end up dependent on
specifications that are difficult to change. So MR. GARCIA: Right. COMMISSIONER MCCALLISTER: You know, so thanks a lot, and I think that, you know, the cross-agency collaboration with these and staff certainly goes on every day is really important to let everybody know what we're doing. MR. GARCIA: Yeah. And there was some really great, I think, conversations in the JASC and the DAWG meetings as well in particularly around climate. I think that's something I would like to explore next year to see, and I think one of the biggest conversations	13	these models with specific, you know, with
 MR. GARCIA: Right. COMMISSIONER MCCALLISTER: You know, so thanks a lot, and I think that, you know, the cross-agency collaboration with these and staff certainly goes on every day is really important to let everybody know what we're doing. MR. GARCIA: Yeah. And there was some really great, I think, conversations in the JASC and the DAWG meetings as well in particularly around climate. I think that's something I would like to explore next year to see, and I think one of the biggest conversations 	14	specifications that are difficult to change. So
16 COMMISSIONER MCCALLISTER: You know, so 17 thanks a lot, and I think that, you know, the 18 cross-agency collaboration with these and staff 19 certainly goes on every day is really important to let 20 everybody know what we're doing. 21 MR. GARCIA: Yeah. And there was some 22 really great, I think, conversations in the JASC and the 23 DAWG meetings as well in particularly around climate. I 24 think that's something I would like to explore next year 25 to see, and I think one of the biggest conversations	15	MR. GARCIA: Right.
thanks a lot, and I think that, you know, the cross-agency collaboration with these and staff certainly goes on every day is really important to let everybody know what we're doing. MR. GARCIA: Yeah. And there was some really great, I think, conversations in the JASC and the DAWG meetings as well in particularly around climate. I think that's something I would like to explore next year to see, and I think one of the biggest conversations	16	COMMISSIONER MCCALLISTER: You know, so
18 cross-agency collaboration with these and staff 19 certainly goes on every day is really important to let 20 everybody know what we're doing. 21 MR. GARCIA: Yeah. And there was some 22 really great, I think, conversations in the JASC and the 23 DAWG meetings as well in particularly around climate. I 24 think that's something I would like to explore next year 25 to see, and I think one of the biggest conversations	17	thanks a lot, and I think that, you know, the
<pre>19 certainly goes on every day is really important to let 20 everybody know what we're doing. 21 MR. GARCIA: Yeah. And there was some 22 really great, I think, conversations in the JASC and the 23 DAWG meetings as well in particularly around climate. I 24 think that's something I would like to explore next year 25 to see, and I think one of the biggest conversations</pre>	18	cross-agency collaboration with these and staff
<pre>20 everybody know what we're doing. 21 MR. GARCIA: Yeah. And there was some 22 really great, I think, conversations in the JASC and the 23 DAWG meetings as well in particularly around climate. I 24 think that's something I would like to explore next year 25 to see, and I think one of the biggest conversations</pre>	19	certainly goes on every day is really important to let
MR. GARCIA: Yeah. And there was some really great, I think, conversations in the JASC and the DAWG meetings as well in particularly around climate. I think that's something I would like to explore next year to see, and I think one of the biggest conversations	20	everybody know what we're doing.
really great, I think, conversations in the JASC and the DAWG meetings as well in particularly around climate. I think that's something I would like to explore next year to see, and I think one of the biggest conversations	21	MR. GARCIA: Yeah. And there was some
DAWG meetings as well in particularly around climate. I think that's something I would like to explore next year to see, and I think one of the biggest conversations	22	really great, I think, conversations in the JASC and the
24 think that's something I would like to explore next year 25 to see, and I think one of the biggest conversations	23	DAWG meetings as well in particularly around climate. I
25 to see, and I think one of the biggest conversations	24	think that's something I would like to explore next year
	25	to see, and I think one of the biggest conversations
CALIFORNIA REPORTING, LLC (510) 224-4476		CALIFORNIA REPORTING, LLC (510) 224-4476

I

1	
1	was, you know, we to give a little background of the
⊥ 2	process we use 30 years of weather simulation to
2	process, we use so years of weather simulation to
3	develop the weather normalized values, but, you know,
4	folks have supported that. You know, if climate change
5	is occurring, then maybe that 30 years of, sort of,
6	normal, maybe we can, kind of, shrink that down and look
7	at different maybe the more near-term weather is
8	actually more of a normal weather scenario.
9	COMMISSIONER MCCALLISTER: And also, I think
10	the weather is going to be more variable, and the
11	extremes are going to potentially going to going
12	to mess with your modeling outcomes, right. So we got
13	to figure out how to be consistent
14	MR. GARCIA: Right. And then that's going
15	back to the model specifications of form to make sure we
16	can actually model that appropriately. So
17	COMMISSIONER MCCALLISTER: Okay. Thanks.
18	MR. GARCIA: So a few things there but I
19	think we're on a on a good path going forward.
20	I think I'm quite a bit early, which is unusual
21	for our IEPR workshops, but I'm happy to take any
22	additional questions either on this weather
23	normalization or the other pieces of the statewide
24	forecast if folks have any questions.
25	CHAIR WEISENMILLER: Actually, let me ask
	CALIFORNIA REPORTING, LLC (510) 224-4476

you a question. So --1 2 MR. GARCIA: Yeah. 3 CHAIR WEISENMILLER: We, collectively, had to adjust August and September forecast, you know, 4 5 because of the weather normalization issue. How did the actual sales come out on that? 6 7 MR. GARCIA: On the sales? 8 CHAIR WEISENMILLER: It was the peak 9 number, you know, for last August and September. Ι don't know if you know or if Neil knows. It'd be good 10 11 just to get that in the record is I guess what I'm 12 saying. 13 MR. GARCIA: Are you -- I think --14 COMMISSIONER MCCALLISTER: 2018 August and September, we were -- before those months actually 15 occurred, we were talking about what --16 17 MR. GARCIA: Oh. 18 COMMISSIONER MCALLISTER: -- will be and 19 well, what were they? 20 MR. GARCIA: Oh, yeah. I don't know. Off 21 the top of my head, I do not know what the August -- I 22 want to say --23 CHAIR WEISENMILLER: Because we had our 24 original forecast, and then we came up with the plug 25 number since the original seemed really low. But it - CALIFORNIA REPORTING, LLC (510) 224-4476 -

1 would be good to at least have on the record, you know, 2 or on a piece of paper the, sort of, original plug 3 and then what actually happened, you know, go ahead. So I don't --MR. GARCIA: 4 5 MR. FUGATE: I don't have them on the top of my head, but that's something we can perhaps enter in the 6 record 7 perhaps after lunch. 8 CHAIR WEISENMILLER: Yeah. That would be 9 great. 10 MR. GARCIA: Okay. I see blank stares and 11 maybe some hungry people. 12 CHAIR WEISENMILLER: Not to let you off 13 the hook too easily. 14 MR. GARCIA: Okay. We'll leave it at that. 15 MS. RAITT: So we're going to take a break. 16 I don't know if you wanted to take a full hour or come back at 1:00? 17 18 CHAIR WEISENMILLER: Let's first give 19 people an opportunity for public comment so that it 20 might be that some folks give public comment now and then hit the road. Of course, I -- we, obviously, don't 21 22 want people to give public comment twice, but, you know, as a convenience, if you have public comments now, that 23 24 would be great. 25 Anyone in the room? Anyone on the line? - CALIFORNIA REPORTING, LLC (510) 224-4476 -

1	Why don't we come back at, say, 12:30? Yeah.
2	
3	(Break taken.)
4	
5	MS. RAITT: All right. So we'll get started
6	again back on the IEPR workshop on the demand forecast,
7	and so our speaker first speaker is Chris Kavalec
8	from the Energy Commission. Our first speaker is Chris
9	Kavalec from the Energy Commission.
10	MR. KAVALEC: Good afternoon. I am Chris
11	Kavalec from the Energy Assessments Division, and I'm
12	going to talk about our hourly load model and some
13	show some results. Um, hourly load model is something
14	that we first put together for the 2017 IEPR forecast,
15	and today, I'm showing what I'm hoping is a new,
16	improved version of that hourly load model. A little
17	bit of background, the reason why we decided to start
18	doing an hourly analysis is that to do a anymore to
19	do a peak forecast properly, you have to have an hourly
20	analysis behind it to capture the, um, peak shift
21	originating from some of our demand modifiers,
22	particularly PV. These modifiers can push the peak out
23	into an and have started to, in fact, push the peak
24	out into later hours. And so if you don't account for
25	the peak shift, you're going to be understating your

Г

----- CALIFORNIA REPORTING, LLC (510) 224-4476 ------

1 peak forecast.

2	Also, historically, um, we have developed, um, a
3	short-term forecast for RA purposes that includes
4	monthly peaks. And this is had been done, sort of,
5	separately from the IEPR forecast. And it's it
6	wasn't adopted with the IEPR forecast. What we're
7	proposing to do now is to use this hourly load model to
8	develop short-term monthly peak forecasts for RA
9	purposes at the TAC level that would then be used as
10	benchmarks for the ensuing RA analysis. And these
11	monthly peaks would be adopted along with the rest of
12	the IEPR forecast, and we've had discussions with CPUC
13	and CAISO staff, and they seem fairly satisfied with the
14	results so far and that the hourly load model can
15	provide a reasonable peak forecast.
16	MAN IN AUDIENCE: What's RA TAC?
17	MR. KAVALEC: Oh, I'm sorry. Resource
18	Adequacy and TAC is the Transmission Access Charge area,
19	which means PG&E is a TAC, Edison is a TAC, and San
20	Diego is a TAC. You also have Valley Electric, which is
21	a very small TAC but also part of CAISO.
22	MAN IN AUDIENCE: Thank you.
23	MR. KAVALEC: And also a flexibility
24	analysis, this is a potential tool for use in the
25	flexibility analysis that CAISO, slash, CPUC does. We
	CALIFORNIA REPORTING, LLC (510) 224-4476

1 don't have any agreement among the agencies yet for use 2 of the hourly load model, for, for this -- these 3 analyses but we offer it as a potential tool for use and 4 flexibility analysis.

A little bit about the structure of the model; I 5 won't go into a lot of technical details and a lot of 6 7 you've seen this already, but basically, what we have is 8 a -- is a regression model that specifies the load 9 ratio, meaning the load in a given hour divided by the 10 average load over all hours in a year as a function of 11 calendar and weather variables. And the weather 12 variables you see listed there include temperatures, 13 hourly temperatures, dew points, and cloud cover.

14 Now, the reason that we do this -- do it this way, that is, estimate hourly load ratios as opposed 15 to hourly loads is that we can then apply our 16 traditional IEPR annual forecast of consumption, convert 17 18 that into an average hourly consumption by dividing by 19 eighty-seven sixty and applying those to our estimated 20 load ratios. In that way, we take into account, through 21 the IEPR -- traditional IEPR forecast, the impacts of 22 econ and demo and rates and other effects. So in other 23 words, the IEPR long-term annual forecast is accounting 24 for econ, demo, and these other things, and the hourly 25 load model with its load rate -- estimated load ratios

CALIFORNIA REPORTING, LLC (510) 224-4476 -

is accounting for variation within the year due to
 weather and calendar effects and different hours.

3 So we, we develop a consumption load using these load ratios applied to annual conception, and then we 4 adjust those to get our final sales forecasts by 5 6 incorporating EV charging profiles, PV generation 7 profiles, residential TOU impacts, and hourly additional 8 achievable energy efficiency. And PV there includes, as 9 we saw earlier today, both predictive PV coming from our model as well as Additional Achievable PV through the 10 2019 Title 24 standards. 11

12 Now, in our forecast, we typically assume average weather for the length of the forecast period, and 13 that's because, obviously, weather is impossible to 14 forecast more than a few days ahead. So we don't even 15 try. What we do is we provide a forecast that assumes a 16 17 typical weather year. And this -- the same thing goes for our hourly load model. We want to take our 18 19 regression results and develop weather normalized load 20 ratios for each hour. To do that, we simulate 18 years 21 of weather history, 2000 through 2017. We run those 22 through our regressions and using -- apply our 23 regression coefficients. And then for each of those 18 24 years, we change the calendar 17 times. So that way, we start the calendar on a different day of the week, so 25

CALIFORNIA REPORTING, LLC (510) 224-4476 -

that way you realign your calendar effects with the 1 2 whether variables. So in one year, you might have the 3 maximum temperature on a Thursday, and that's your peak. But then the next simulation, that high temperature may 4 come on a Saturday, and that's no longer the peak. 5 6 COMMISSIONER RANDOLPH: Can I ask a quick 7 question? 8 MR. KAVALEC: Sure. 9 COMMISSIONER RANDOLPH: The climate change 10 impacts, do you see the same as what was described 11 earlier where you're making assumption about increased 12 heating days and, and cold weather days? Is that -- is that how --13 MR. KAVALEC: Yeah, that is incorporated, 14 15 and I'll get to that in a later slide. COMMISSIONER SCOTT: I had a question also 16 17 on the previous slide, where you mentioned the 18 consumption load is load served by utilities plus PV 19 energy minus PV. Is that -- is that backwards? Should 20 it be plus EV load minus PV? 21 MR. KAVALEC: Okay. So to go from total 22 consumption --23 COMMISSIONER SCOTT: Uh-huh. 24 MR. KAVALEC: -- we add in PV. And then we -- so that's -- so basically, we're taking sales, 25 · CALIFORNIA REPORTING, LLC (510) 224-4476 -

1 adding PV to it. That gives you a measure of the total 2 consumption. 3 COMMISSIONER SCOTT: Okay. 4 MR. KAVALEC: The reason that we're 5 subtracting on EV from that is that we model EVs 6 explicitly within the model using changing profiles. That's why we break it out. 7 8 COMMISSIONER SCOTT: Okav. 9 COMMISSIONER MCCALLISTER: So that 10 consumption is non-EV all conception except EV 11 consumption, which is its own -- is that --12 MR. KAVALEC: That's right, yeah. But then 13 when you talk about total consumption coming from a 14 model that EV at an hourly level is added back in. So 15 total consumption includes EV ultimately. 16 COMMISSIONER SCOTT: Okay. Got it. 17 MR. KAVALEC: Okay. So we do a series of a 18 hundred and twenty-six different simulations for 19 eighty-seven sixty hourly loads, and then we group 20 together the highest hourly loads estimated in the 21 simulations, all a hundred and twenty-six of them. And we take the median of those hundred and twenty-six 2.2 23 hourly loads, and that becomes our weather normalized 24 hourly load peak ratio for peak load ratio. Then we 25 group together the second highest loads simulated and CALIFORNIA REPORTING, LLC (510) 224-4476 -

1 take the median of those hundred and twenty-six. That 2 becomes our second highest load ratio and for the year. 3 And so on down the line all the way down through 4 eighty-seven sixty.

Okay. So now what we have developed is a set of 5 6 the eighty-seven sixty weather normalized load ratios. 7 Now, the next step is we have to assign those ratios to 8 an actual day and hour, and that's where it gets more 9 complicated. For the 2017 forecast, what we did was to 10 say, "Okay. Let's take what we consider to be average 11 years for each TAC, the three IOUs, in terms of cooling 12 degree days and heating degree days, and use those to assign our weather normalized load ratios." 13 So for 14 example, we used 2012 for PG&E. So if the peak in 2012 for PG&E was on July 25th from 4:00 to 5:00 o'clock, 15 that's where the highest weather normalized load ratio 16 17 would be assigned. And then the second highest would be 18 on the date and hour, the second highest load in 2012, 19 all the way down the line. Okay.

But that created a couple of issues, so we have addressed in this forecast. Um, first of all, just because a year, as a whole, is average, could be considered average for a given TAC area, that doesn't mean it's average for every month. Um, so what ended up happening is we got some sort of unreasonable peaks, um,

- CALIFORNIA REPORTING, LLC (510) 224-4476 -

for the TAC areas in some months just because that month 1 2 within an average year was unusual. Okay. In addition, 3 we ended up -- we use two different years, 2009 for Edison and San Diego and 2012 for PG&E. And this 4 5 created a misalignment so that when you added up the 6 individual TAC areas, you were not getting a good 7 estimate of the CAISO coincident hourly load because 8 they were coming from two different years. They were 9 misaligned. So we needed to find a new, a better method 10 to do this to avoid these problems. And an intuitive 11 way of doing this we thought was to measure the average 12 loads historically over a number of years by day type. And by day type, that means, for example, the first 13 14 Tuesday in March or New Year's Day or the second 15 Thursday in June and so on. Okay. So we computed averages for each TAC area for all the different day 16 types for each hour and each month. Now, the advantage 17 18 of this is that it keeps the CAISO coincidence intact. 19 You're taking an average PG&E load, an average Edison 20 load, an average San Diego load, well, you add those 21 together, you're going to get an average CAISO loads. 22 Okay. So it preserves the coincidence. However, 23 because you're taking averages for each day type and 24 month and hour, you're, kind of -- you're suppressing the variation within a given month. So you're not going 25

CALIFORNIA REPORTING, LLC (510) 224-4476 -

to get a very good measurement of the peak. Okay. 1 So we had to develop a second step that would preserve the 2 real world variation that you see within a given month. 3 So what we did in our second step was to go 4 5 through each month and say, "Okay. Here's the average 6 of the highest hourly load over the historical period. 7 Here's the average of the second highest hourly load for 8 this month over the historical period," and all the way 9 down through however many hours there are in a month. 10 Okay. We then assigned these. We substituted these 11 measurements for the average loads in the previous step. 12 So if the highest average load from the previous step in 13 May occurred on the second Tuesday at 4:00 o'clock, well, this computed average of the maximums in May would 14 go to that day and hour. Okay. So we did that for all 15 the months and all the hours. And what resulted then 16 17 was a set of eighty-seven sixty indicators that we could 18 then rank and use those ranks to assign our simulated 19 weather normalized hourly load ratios to every day and 20 hour. 21 A little bit about the hourly profiles. Um,

A little bit about the hourly profiles. Um, consumption hourly profiles, we discussed. It's entered into the model separate from electric vehicles, but ultimately, electric vehicles added back in. We have PV generation profiles that we use coming from E3 analysis

CALIFORNIA REPORTING, LLC (510) 224-4476 -

of the California solar initiative data, residential 1 TOU 2 that we develop in house. As Carey mentioned earlier, 3 the same AAEE profiles as we used in the last forecast but adjusted to be incremental to 2018 and climate 4 5 change. Now, as, as Carey mentioned earlier, for each 6 planning area, we develop an estimate for each year of 7 the impact of climate change on peak demand and on 8 annual energy. Okay. We don't -- or didn't have 9 anything to apply to the hourly load model, and this 10 created an issue for me because we would have 11 stakeholders asking us, "Okay. You have your hourly 12 load model results. Can I just pull out the peak from 13 there?" And we'd have to say, "No, because you have to make an adjustment for climate change and add that back 14 in." And that, that -- that's probably not -- we would 15 like to provide something -- an hourly -- an hourly load 16 17 model result that incorporate everything so that you can just pull out the peak or whatever monthly peak you want 18 19 to pull out and you don't have to make any adjustments. 20 So I decided to try to integrate climate change impacts into the hourly load model. So what I did was I started 21 22 with the peak impacts of climate change and assigned 23 that to the peak day and -- peak day and hour. Then I 24 needed to assign it to different hours, all the rest of 25 the hours in the summer. What I did was to impute the

· CALIFORNIA REPORTING, LLC (510) 224-4476 -

amount of cooling that's going on in each hour. 1 Um, the 2 way I did that was to take an average load shape in 3 April, where you don't have much cooling or heating and compare that to all the other days and hours with the 4 difference and the summer being the amount of cooling; 5 the difference in the winter being the amount of 6 7 heating. So it's just a rough estimate of the amount of 8 cooling by -- and heating by hour.

9 Okay. So we have our peak climate change 10 adjustment. Then we apply a fraction of that heat 11 megawatts to the second highest cooling -- estimated 12 cooling load, whenever that day and hour happens. And then we apply a fraction of that to the third highest 13 14 cooling load, all the way down the line. And that fraction's calculated so that if you add up all of the 15 hourly impacts, you get the annual energy impact, the 16 increase from cooling. 17

18 Okay. So we did that for the hours in the summer 19 Um, for heating, it was the same thing going in months. 20 the opposite direction. Um, we imputed the amount of 21 heating by comparing the winter months' load shapes to 22 April. Then assigned -- oh, taking a step back. When 23 we estimate the impacts of climate change, we have 24 increases that come from more cooling needs from 25 increasing amounts of, um, cooling degree days, but we

CALIFORNIA REPORTING, LLC (510) 224-4476 -
also have decreases in the load coming from less heating
requirements because their heating degree days are going
down. Okay.

Okav. So this decrease in load was then allotted 4 to the different hours in a similar way as the heating 5 increases so that the sum over all the hours in the 6 7 winter equal the, the estimate of the annual impact from 8 less heating degree days. So this is an, admittedly, 9 kind of, crude way to do it, but as I said, I wanted to 10 integrate this in just so -- to make the hourly load 11 results more complete. Going forward for the 2019 12 forecast, we're -- we've been talking to Scripts Institute and they're optimistic that they can produce 13 а 14 set of hourly impacts of climate change. So for the next forecast, we won't have to use such a crude 15 16 allotment to the different hours.

17 Um, a couple other adjustments we had to make. 18 We agreed with -- to make some adjustment for some of 19 the small -- a couple of the smallest LSUs. One was 20 Vernon, who has a big industrial customer moving in, in 21 2021. And the other was Silicon Valley power, which has 22 some big data centers moving in, which will have 23 significant impact of -- on their load. So the same 24 thing here. We have an annual peak estimate and annual 25 energy estimate from these big industrial and commercial

· CALIFORNIA REPORTING, LLC (510) 224-4476 -

1	customers moving in, but rather than make, you know, an
2	adjustment to the hourly load model results after the
3	fact, I allotted these impacts to each hour. Okay. So
4	for example, Vernon we have a peak amount, and we have
5	an annual energy amount. So I assigned the peak amount
6	to the peak hour and a fraction of that to the day with
7	the next highest load all the way down. And that
8	fraction calculated so that the individual hourly
9	impacts add up to the annual energy impact. And that
10	was those loads are fairly flat. So there was
11	that fraction was pretty close to one because these are
12	big this is a big industrial customer and a big
13	commercial customer.
14	Okay. So all that goes into the, um, hourly load
15	model. So to be complete here, what consumption really
16	is the initial estimate of consumption. Then you're
17	adding in EVs. Then you're adding in climate change
18	impacts, and then you're adding in these two adjustments
19	that I just mentioned. Okay. That's our that's our
20	actual, final consumption in the hourly load model.
21	COMMISSIONER MCCALLISTER: Just to be clear,
22	Chris, you, you start you weather normalized before
23	all that? You're doing weather normalization and then
24	that's the weather is what you then make all these
25	adjustments to?

Г

- CALIFORNIA REPORTING, LLC (510) 224-4476 -----

1	MR. KAVALEC: That's right.
2	COMMISSIONER MCCALLISTER: And then also,
3	are you concerned about April not being, sort of,
4	neutral enough? I mean, it's probably the most neutral
5	month, but is there an issue with having some middle
6	cooling or heating in there that, sort of, messes you
7	up?
8	MR. KAVALEC: Yeah. In fact, there's some
9	days you can have both cooling and heating, where it's
10	cool in the morning but it's warm in the afternoon. And
11	that's so there are obviously more refined ways of
12	doing this, I'll admit.
13	Okay. So now we have our hourly load model and
14	some results and we want to test these results. So what
15	I did was to test, compare the 2018 results coming from
16	the hourly load models with recent history and with our
17	own weather normalized peaks for 2018. So first, here,
18	are whether normalized annual peaks using our
19	traditional process for each of the IOUs, and these are
20	numbers that we as, as usual develop using an
21	econometric analysis and simulations. And then we
22	confer with the IOU just to see what numbers they have,
23	and we sometimes settle or, or make slight changes based
24	on their results. But anyway, these are the three
25	weather normalized peaks that we ended up with for the
	CALIFORNIA REPORTING IIC (510) 224-4476

----- CALIFORNIA REPORTING, LLC (510) 224-4476 ------

IOUs in 2018 in the middle of the column there. 1 2 To get a CAISO system, um, coincident peak, what 3 we do typically is we will add up the weather normalized 4 peaks for each of the TAC areas then add in VEA, which isn't shown here, and apply a coincidence factor, which 5 in recent years, has been .9 .965 and apply that to that 6 7 sum. That gives us the 46,321 PVC here. 8 In comparison, coming out of the hourly load 9 model, we see that the weather normalized peak is pretty 10 close for PG&E, a couple hundred megawatts away; a little bit farther away for Edison TAC area, and a little 11 12 bit high for the S PG&E TAC area. It should be kept in mind here that the output coming from the hourly load 13 model is coming from a forecast. It's coming from a 14 forecast for consumption, and it's coming from a 15 forecast for PV. Whereas, the annual weather normalized 16 peaks in the middle column come from using actual loads 17 in 2018. So we think those are a better estimate. 18 And also, we're projecting in 2018 reductions 19 in 20 consumptions for PG&E and Edison, which is driving down this number relative to the middle column and an 21 22 increase for San Diego. Okay. And again, that's a 23 forecast, which is pushing at the San Diego number. 24 But anyway, what we will do -- we haven't done this yet because we just agreed on Tuesday afternoon 25

- CALIFORNIA REPORTING, LLC (510) 224-4476 -

with the IOUs on the weather normalized peaks, so I 1 2 haven't had time yet. But we will calibrate the hourly 3 load model results for these 2018 weather normalized peaks shown in the middle column. Unlike in our 4 traditional process, you don't need to develop a 5 6 coincidence factor because all you're doing is adding up 7 the individual TAC areas, the three IOUs through EEA for 8 each hour and selecting the max number, and that's your 9 CAISO coincident system peak. Okay. And if -- and in doing that, the affective coincidence factor that 10 vou 11 get comparing the -- some of the IOU and VEA peaks with 12 the CAISO system peak coming from the hourly load model is .949, a little bit lower than what we have been using 13 but still within the reasonable range. 14

15 Now, in looking at monthly peaks recently, there's been a lot of attention paid to that in the RA 16 17 world, and folks have typically been looking at the last five historical years and comparing that to the RA 18 19 forecast and using that as, sort of, a benchmark or a 20 standard for which to judge the RA forecast, monthly fee 21 forecast. But this, this is not the greatest method to 22 use because using averages for only a few historical 23 years, you have a lot of -- you can have a lot of 24 volatility as you change the number of years or you update your five-year total. So I give some examples 25

- CALIFORNIA REPORTING, LLC (510) 224-4476 -

1	here. So the using June and the EMS data that we get
2	from CAISO, the average peak from 2013 to 2017, that
3	five-year period, is around 43,500 for June. Now, let's
4	say you decide to add a couple more years on and look at
5	the average peak from 2011 to 2017, well, you see, you
6	go down by 1500 megawatts for your average, or let's say
7	you want to weigh more recent years to get a better
8	indication of more recent developments, 2015 through
9	2017, well, then you're up, you know, 400 megawatts
10	higher than you were using your original five-year
11	period. And then if you update your five-year period
12	and use 2014 to 2018 instead of 2013 to 2017, you wind
13	up 1500 megawatts lower.
14	And then below that, I show the average for the
15	entire period for which we have EMS data, 2006 through
16	2017. So because of this volatility and these
17	comparisons I'm making between the hourly load model
18	output and the monthly peaks, I'm going to use the whole
19	period 2006 to 2017. There's no perfect
20	historical period for, for comparison, and we know
21	there's been a lot of changes in the electricity market
22	since 2006, but you're capturing a lot more weather
23	years, and ultimately, weather is the most significant
24	still the most significant driver of variation within
25	a year. So you want to capture as many weather years as

L

CALIFORNIA REPORTING, LLC (510) 224-4476 ------

1 you can, and that's what we have.

So this graph compares what was predicted in the 2 3 hourly load model for 2018 for monthly peaks in dark blue versus what the average is over the 2006 to 2017 4 5 period. And you can see they're pretty close, but you 6 really don't want to compare with the magnitude, the 7 absolute magnitudes of loads, because loads are changing 8 and overall, you have growth. You know, sometimes, you 9 have decline; sometimes, sharp increases, but overall, 10 the trend is increase. So what you really want to look 11 at is the ratio of the monthly peak to the annual peak, 12 and that's what I have here, and you can see we're even 13 closer. Okay. So it seems relative to history, it seems to give a pretty good -- pretty good estimates of 14 monthly peaks at the CAISO level. You also want to look 15 at monthly peak coincidence, what the coincidence 16 is within a given month. So in this case, you're summing 17 up the TAC area peaks within a given month and comparing 18 19 that to the CAISO coincidence peak, and you can see the 20 coincidence factors there are all between .97 and 1, 21 which is consistent with the historical data. So T 22 think we've solved our coincidence issue for our hourly 23 load model because these numbers look pretty reasonable. 24 Then we want to look at individual TAC areas, and what's important in the RA world is not so much the TAC area 25

- CALIFORNIA REPORTING, LLC (510) 224-4476 -

absolute peaks, but the coincident TAC peaks, 1 coincidental with CAISO peaks. We're worried about 2 that. So you can see we're comparing monthly rates, the 3 ratio of monthly to annual peaks for coincident peaks 4 for PG&E, and you can see these are pretty close. 5 Not quite as close as for CAISO as a whole. For Edison, not 6 7 quite as close. We seem to be under-predicting the 8 ratios for most of the months, and for San Diego, we're 9 over-predicting the ratios for most of the months. Now, 10 this could be a defect in the hourly load model, but 11 what I think is going on here is that in the case of 12 Edison, we have seen their annual peaks ballooning in 13 recent years compared to the rest of the year. So that's what -- and when we did our regressions to 14 estimate the model at the suggestion of 15 some stakeholders, we gave more weight to the last three 16 years of the data so we can catch more recent trends and 17 we did that by using a dummy variable for the last three 18 19 years. So this dummy variable is, is capturing what's 20 been going on recently, which is the ballooning of annual peaks for, for Edison relative to the rest of the 21 22 year, so I think that's why you see this relationship 23 that I'm showing here. 24 San Diego, we have the opposite. The annual 25 peaks have been dropping relative to load and the rest

- CALIFORNIA REPORTING, LLC (510) 224-4476 -

1	of the year for whatever reason, more PV. So that's why
2	you see this relationship. Okay. And again, as I said,
3	there's no hourly or historical period that's perfect
4	for comparison but anyway.
5	Okay. Now, back to our regularly scheduled IEPR
6	forecast. What I'm going to show now is the peak
7	forecasts for the IOUs generated with the hourly load
8	model.
9	CHAIR WEISENMILLER: One second, Chris.
10	Do you know any theories on what's causing the Edison
11	ballooning?
12	MR. KAVALEC: I think it's because of
13	movement toward the Inland Empire and a shrinking
14	industrial base, which means the remaining load is peak
15	year.
16	COMMISSIONER MCCALLISTER: Chris, I also
17	wanted to I'm not I don't quite have this thought
18	fully formed, so I apologize if it doesn't make sense.
19	So but are you so each of the, you know, the, the
20	LSE areas, the three big IOUs, in terms of the aspect of
21	translating, you know, getting that final peak number
22	and going through that methodology, are there places
23	where the specifications that of the model that you
24	used to do that allocation are different? Like, um, you
25	know, is it warranted to have, you know, given the

Г

CALIFORNIA REPORTING, LLC (510) 224-4476

different context and say even Edison as you just 1 2 pointed out, does that mean that you need to, kind of, 3 tailor your methodology and decide on a slightly tweaked methodology for each of those to make it fit better, or 4 5 you really just want to have one methodology that you're 6 using across the board? 7 MR. KAVALEC: Well, in this particular case, 8 as I mentioned, we, we included a dummy for the last 9 three years. 10 COMMISSIONER MCCALLISTER: Yeah. That 11 captures a lot of the --12 MR. KAVALEC: Yeah, and it's only kept in if 13 it's significant. So if it's actually capturing something, like it is in the case of Edison, it's kept 14 in the model. If not, then it's not used. 15 COMMISSIONER MCCALLISTER: Okay. So to the 16 Chair's question, you know, some of these influences 17 that may be contextual to each territory would, sort of, 18 19 be in the dummy variable if they exist. 20 MR. KAVALEC: Yeah, and that goes for the 21 other variables. So we only keep the variables that are 22 significant -- which are different -- which differ in 23 the different categories. 24 COMMISSIONER MCALLISTER: Okay. Gotcha. 25 Thanks.

CALIFORNIA REPORTING, LLC (510) 224-4476

MR. KAVALEC: Okay. So here's our PG&E peak 1 2 forecast from the hourly load model, which incorporates 3 the peak shift, and starting from the top, the dark blue, we have our consumption peak, which is growing at 4 a healthy rate and similar to PG&E's consumption, which 5 Carey will talk about a little bit later. We then 6 7 subtract off our PV, and again, the consumption includes 8 all those items that I mentioned, consumption, plus EVs 9 plus climate change, plus the adjustments for Vernon and 10 Silicon Valley. Then you subtract off PV, and you get 11 to the red line and that would be our baseline peak 12 forecast. Then from that, you subtract AAEE and AAPV for two different scenarios -- what we call the mid-mid 13 and the mid low -- to give us our two planning forecasts 14 15 for PG&E. Those are shown in green and in purple. So those are the two planning forecasts that we adopt and 16 17 provide for usage by various parties for resource planning. Okay. These are the two scenarios that 18 the 19 Energy Commission recommends be used in the resource 20 plan. 21 We have two of them because at the request of 22 some stakeholders, they wanted a more conservative

23 version for localized plan. So we have our mid-mid 24 -planning forecast for system wide resource planning, and 25 then our mid-low case for more localized planning. And

· CALIFORNIA REPORTING, LLC (510) 224-4476 -

1	
1	they are really close together, which makes me think
2	that maybe in the next round, we should try and put some
3	distance between the two that the two different
4	scenarios because they are very close together. So
5	COMMISSIONER MCCALLISTER: If you were to
6	so the table on the coincidence for the and you're
7	doing it for the whole ISO territory in slide 15, if you
8	did that by TAC or by if you got more localized with
9	that or more regional with that
10	MR. KAVALEC: Uh-huh.
11	COMMISSIONER MCCALLISTER: how much would
12	those numbers go down, you know the fit, if the coincidence
13	or how much would they vary I guess?
14	MR. KAVALEC: I guess it depends on how you
15	disaggregated your modeling because I mean, the, the
16	you have like, for Edison, you have a wide variety of
17	climates, you know, and, and density of population but
18	overall so, so because you have widely varying areas,
19	your coincidence then is going to go down.
20	COMMISSIONER MCCALLISTER: Yeah, maybe it's
21	worth having a discussion at some point about how low of
22	a number for that coincidence would be, kind of,
23	acceptable, like, trying to figure out how local we want
24	to go with these forecasts, you know. Certainly, you
25	know, I'm interested in understanding demands of impacts
	CALIFORNIA REPORTING, LLC (510) 224-4476

1	and, sort of, figuring out how to quantify local
2	phenomena.So it would be, kind of, an interesting
3	conversation to have about how nervous we get the lower
4	those numbers go. You know, the less coincidence there is,
5	the more local we get and so where would we draw the line
6 7	on how much we Want to push for a local forecast MR. KAVALEC: Right.
8	COMMISSIONER MCCALLISTER: over time.
9	That's what I wanted, the conversation. I think it
10	might be nice to have a little interaction on that.
11	MR. KAVALEC: Well, ideally well, we
12	do we have six forecast zones within PG&E, but we
13	don't yet have the data to support the repeat forecasts.
14	COMMISSIONER MCCALLISTER: Right.
15	MR. KAVALEC: And especially estimate the
16	peak shift at the forecast level.
17	COMMISSIONER MCCALLISTER: Right.
18	MR. KAVALEC: But these, these territories
19	so big that, you know, ultimately, you want to
20	disaggregate your forecast down further because the
21	behavior is going to be very different in the inland
22	areas versus San Jose or San Francisco.
23	COMMISSIONER MCCALLISTER: Yeah, as we're
24	talking about what investments we're going to make, you
25	know, lower and lower voltage, you know, what it'd be

I

- CALIFORNIA REPORTING, LLC (510) 224-4476 -----

1	nice to have numbers to base that on and predict.
2	MR. KAVALEC: Well, data is coming,
3	hopefully, to support this effort. So
4	MR. MILLAR: I was going to say it's so
5	yeah, one of the other things we have been looking at
6	is supplementing some of this area analysis with our own
7	information about actual consumption in certain areas
8	especially for closer in studies to get a better feel
9	for, for within some of those areas don't conform to
10	the overall average for that so I think that is a
11	good conversation to keep going as to how far it gets
12	handled through the, you know, complete process here
13	versus a one-off when we have an understanding that is
14	under consideration for reinforcement.
15	COMMISSIONER MCCALLISTER: Yeah, that sounds
16	great.
17	MR. KAVALEC: Okay. So on to Edison and
18	peak forecast; same story. Start off with consumption.
19	Adjust by the amount of PV, and then adjust by your AA
20	variables to get our two managed peak forecasts, it's
21	mid-low and the mid-mid. Again, flat little bit lower
22	growth than, PG&E and then San Diego on the other
23	hand, a little bit higher growth when you get down to
24	the managed peak forecasts. And this is coming from, as
25	we will see, kind of, a hefty peak shift in relative

CALIFORNIA REPORTING, LLC (510) 224-4476 ------

terms for San Diego. So this last slide here I'm 1 2 showing what the peak shifts impacts are for each of the 3 IOUs. And put another way, this is showing how much you would be understating your peak forecast if you didn't 4 5 account for the peak shift, and you can see it's pretty significant for -- if you're underestimating your 6 peak 7 forecast for PG&E by the end of the forecast period by 8 3500 megawatts if you didn't account for the peak shift 9 for the peak occurring at a later hour. And these 10 numbers are, are similar to what we had last time. 11 PG&E's peak shift by 2030 is a little bit -- is a little 12 bit lower. Edison's is, is about the same, and San Diego's is pretty high relative to its size and they 13 14 have a lot of -- they have a lot of PV in relative terms compared to the IOUs. And we ran into this situation 15 last time where the -- you can see how, how, how 16 17 different the peak shift is comparing PG&E Edison with 18 two utilities about the same size. And this happened 19 similarly, last time, and, and Edison was concerned about 20 how small their peak shift was compared to PG&E. Well, 21 we have reconstituted the model. We've attempted to 22 account, put more weight in the last three years as 23 Edison suggested. And we're still getting the same 24 results, a much lower peak shift compared to the, the 25 PG&E. And this is happening I think for, for two

- CALIFORNIA REPORTING, LLC (510) 224-4476 -

reasons; much lower PV relative to, to PG&E and also 1 2 because the load shape is different than peak days. PG&E's loads tend to remain high later into the 3 afternoon. While Edison's drop off faster as you 4 5 approach late afternoon and evening. So if your loads are dropping off faster, later in the afternoon, 6 where 7 your new peak may be occurring, you're not going to have 8 as much of a peak shift. And I know Edison will, will 9 remain concerned about this, and as we mentioned 10 earlier, we will put out all kinds of numbers next week 11 and including the hourly load model results, and I will be happy to sit down with Edison staff and go through 12 13 this and show exactly why this is happening in more detail. And you can, kind of, see from, from this graph 14 15 when these shifts are happening. By the end of the forecast period, the, the peak period for all three IOUs 16 17 is seven to eight in the evening compared to currently, around 4:00 to 5:00 or sometimes, 5:00 to 6:00. 18 And so 19 you can see, like, 2027 for PG&E where the slow changes 20 increases. Well, you're having a peak shift to a later 21 hour happening in that year. Edison in 2027, that's 22 obvious. You're having a peak shift to a later hour 23 happening there.

Now, comparing the peak forecast versus what we had in 2017 for the two planning forecast, the mid-mid

· CALIFORNIA REPORTING, LLC (510) 224-4476 -

1	and the mid low, you can see that PG&E's is a little bit
2	lower for both of those cases due to slightly lower
3	sales that are driving this. For Edison, negative
4	growth but not quite as negative and that's because
5	overall, they have a little bit less self-generation.
6	So their peak isn't driven down as much. And San Diego,
7	with its big peak shift, a few hundred megawatts higher
8	than it was in 2017, has higher growth compared to 2017,
9	and that's all I have.
10	COMMISSIONER RANDOLPH: Can I just ask a
11	process question? So you've had an opportunity to talk
12	to our staff and CAISO staff and the IOUs and you're
13	going to be taking comments as part of this process for
14	this workshop. Is there any other stakeholder input
15	that you're taking on this?
16	MR. KAVALEC: Well, the so we have the
17	formal comment period, and then we have the informal
18	discussions that I'm sure will happen. And again, we
19	apologize. We by this time, we usually have all
20	kinds of results posted that people can look at. We
21	don't have that yet. So informal discussions with, with
22	IOUs and the agencies, along with formal comment period.
23	Anything else I should add in terms of process?
24	CHAIR WEISENMILLER: Certainly, we
25	welcome comments from any and every one. You know, this
1	CALIFORNIA REPORTING, LLC (510) 224-44/6

1	is, sort of, complicated enough or dense enough that
2	probably the IOUs and POC staff, CAISO staff are probably
3	the ones who are really going to dig into it, but, you
4	know, there will be changes as you know, a lot of people very
5	concerned about your RA numbers.
6	COMMISSIONER RANDOLPH: Uh-huh.
7	CHAIR WEISENMILLER: And certainly, point
8	them in this direction or at least they're certainly
9	welcome and, you know, again, I'm sure Chris and the
10	rest of staff will be happy to meet, and we'll post the
11	information. As we say, we might do a webinar or
12	something if people really wanted to dive into some of the
13	nuts and bolts or informal meetings, but we certainly
14	aren't going to preclude anyone else in the RA process
15	from, you know, contacting Chris or staff, talking about
16	stuff.
17	COMMISSIONER RANDOLPH: Okay. Great. And
18	remind me what your timeline is for posting.
19	MR. KAVALEC: So
20	COMMISSIONER RANDOLPH: Have you figured it
21	out yet or are you still
22	MR. KAVALEC: Well, the results,
23	will hopefully be posted next week.
24	COMMISSIONER RANDOLPH: Okay.
25	MR. KAVALEC: ones earlier in the week
	CALIFORNIA REPORTING, LLC (510) 224-4476

other ones, later in the week. 1 2 COMMISSIONER RANDOLPH: Excellent. Thank 3 you. 4 COMMISSIONER MCCALLISTER: Well, right now the comment period is until December 20th. 5 Right?I 6 guess so, but if, you know, that -- that's adjustable if 7 it really had to be. Just, you know, if we don't get 8 things out there on time. 9 CHAIR WEISENMILLER: No. We can 10 certainly talk about something which is two weeks after 11 things posted or something like that if people felt they 12 needed it, right? Staff to either concur or not but 13 ultimately, I'm sure Heather's trying to get the whole 14 thing together at some stage. So this is a part of that process, but again, I think we understand that this is 15 complicated. We want to make sure people have enough 16 17 time to dig into it. So if there are issues, we can 18 COMMISSIONER RANDOLPH: Yeah, excellent. 19 CHAIR WEISENMILLER: -- later. 20 COMMISSIONER RANDOLPH: Exactly. All right. 21 Well, thank you. 22 MR. KAVALEC: So we have a lot of material 23 coming out and the forecast update and coming out in a short period of time, and I realize it takes a while to 24 digest everything, and I know that Terry and Nick will 25 - CALIFORNIA REPORTING, LLC (510) 224-4476 -

1	be happy to work over Christmas if they have to.
2	CHAIR WEISENMILLER: Continuing the
3	tradition. We should also make sure that certainly
4	Commissioner Randolph and Neil, you know, give us an
5	email saying, "it's now posted."
6	COMMISSIONER RANDOLPH: That would be great.
7	MR. MILLAR: Yeah.
8	MS. RAITT: And Cary Garcia is back to talk
9	about the utility results.
10	MR. GARCIA: All right. I am back.
11	Hopefully, this is the last time you will hear from me.
12	Okay. So mentioned the actual monthly peak
13	values for 2018, so I wanted to invite ISO staff to put
14	that on the record as you suggested
15	MS. HOU: Hi, my name is Delphine from the
16	California ISO. Chair Weisenmiller, Commissioners, and
17	Neil. So to report, I wanted to provide a minimum of
18	three numbers that we have for August, September, and
19	October. So the peaks this year that we have on hand at
20	this moment from extracted from our system but not
21	yet posted is 45,196 for August; 38,752 for September;
22	and 34,888 for October. So this is what I have
23	currently extracted from the system. Do you have any
24	other questions?
25	CHAIR WEISENMILLER: Yeah. Now, how
	CALIFORNIA REPORTING, LLC (510) 224-4476

1	does it would be good to get that in context of, sort
2	of, what the original forecast was and then what we
3	adjusted it to out of certain degree of conservatism.
4	MS. HOU: Sure. What I understand from the
5	presentation that we, at the CAISO, made back in August,
6	actually in July was we did not actually take any action
7	for August but just as a point of comparison, the
8	original forecast for August was 44,923. So again, as
9	compared to an actual peak of 45,196, and then that
10	original 44,900 number was adjusted to, according to the
11	WECC forecast to 45,690. So we were, sort of, right in the
12	middle there.
13	CHAIR WEISENMILLER: Okay.
14	MS. HOU: For September, it was a bit
15	different. So the reason why we did actually make a
16	significant capacity procurement mechanism backstop for
17	September was because earlier in the year, we had been
18	expecting fairly high temperatures as well as a decrease
19	in hydro capability and other system issues. And so the
20	original forecast for September was 42,579 versus an
21	adjusted based on the WECC forecast of 43,825. So we
22	eventually ended up having a very low September demand
23	month.
24	COMMISSIONER RANDOLPH: So your actual was,
25	you said, 38,752?
	CALIFORNIA REPORTING, LLC (510) 224-4476

Γ

1 MS. HOU: Correct. Okay. 2 COMMISSIONER RANDOLPH: So that was lower 3 than the original? MS. HOU: Correct. 4 CHAIR WEISENMILLER: 5 Right. 6 MS. HOU: So the original forecast was 7 33,175 megawatts. The adjusted based on the WECC 8 was 7,612. So the actual October numbers were, again, 9 right in the middle, 34,888 megawatts. And again, we also procured backstop for October not necessarily for 10 11 pure concern out of the peak but mostly because that is 12 the outage season for resources. So we wanted to ensure 13 that we didn't have more resources going on outage than 14 what we could have on the system to meet a peak. 15 CHAIR WEISENMILLER: Thanks. 16 MS. HOU: Thank you. 17 All right. Back to -- back to MR. GARCIA: 18 me. 19 Okay. So we're going to get into the planning 20 area results. Chris already covered the peak for the 21 IOUs, so I won't rehash that here, but I will go into peak for LA DWP and SMUD, and then after that, I would 22 23 like to invite the utilities to come up and provide 24 comment at the end, and then we can answer any 25 additional questions after that. So getting into the · CALIFORNIA REPORTING, LLC (510) 224-4476 -

PG&E planning area to start off with here in northern 1 California, we have per capita income, which stays about 2 3 the same in comparison to 2017. And if you recall, the previous projections I had mentioned, income, I believe, 4 goes down a little bit, but it, kind of, changes 5 6 depending on the planning area that you're looking at. 7 Households here goes down. That will be a driver for 8 persons per household, which will drive residential 9 sector consumption and manufacturing outputs down а little bit and commercial employment goes down guite 10 а 11 bit, so you'll see decline there. But overall, the 12 baseline consumption continues to grow ever so slightly. 13 While looking at the sales growth, you see that decline 14 that about 0.76 percent leading to a continued climb in the managed sales growth which I'll talk about little bit 15 later. So looking at the consumption, we see 16 the 17 breakout by sector here. So residential consumption, as 18 I mentioned, continues to go up, being -- which is 19 driving overall total consumption which is, like I 20 mentioned, slightly higher but still at 1.35 percent. 21 Per capita income, as I mentioned, remains pretty strong 22 here, and then that increasing persons per household is 23 really what's driving that residential sector, but that 24 reduction in commercial employment brings down the 2018 25 commercial sector forecast relative to 2017, and then you see - CALIFORNIA REPORTING, LLC (510) 224-4476 -

the same thing in the industrial sector, which is going 1 2 to be driven by a lower GSP growth, um, and then 3 agriculture sector goes up a little bit, and that's primarily due to the rates going down in the ag sector. 4 5 So looking at managed sales, I just want to 6 remind everybody what the managed sales is. So that's 7 taking the sales forecast, which includes -- well, you 8 basically start off with consumption as Chris mentioned, 9 and we subtract off the PV, and that gives us our sales, and then what I'm doing here is I'm also adding in the 10 11 mid case AAEE as well as mid case AAPV and subtracting 12 those off as well. So that ends up -- it looks like my 13 graph got cut off a little bit but that orange line 14 there is the new 2018 baseline forecast for the mid case with the inclusion of the AAEE and AAPV. You'll see it 15 higher just a little bit, and that's primarily due to an 16 adjustment he made for DWR loads. There's an overlap 17 18 between Edison and PG&E and Kern County. So we made an 19 adjustment to correct for the appropriate sales going to 20 DWR there. So you'll see it just level up a little bit, 21 but by and large, we're seeing a decrease in growth of 22 23 percent annually for PG&E's planning area. And then 23 also keep in mind this -- PG&E's planning area includes 24 more than just the PG&E service territory. There's a 25 bunch of POUs in there. There's also going to be that

CALIFORNIA REPORTING, LLC (510) 224-4476 -

adjustment for Silicon Valley power that we talked about earlier in that, but once we publish those forms, we'll have a breakout where PG&E -- the customer as well as the CCA and the other POUs that are included in that forecast area.

6 Moving on to Edison's planning area, we see per 7 capita income decline here. Household also declines 8 once again, kind of, driving that person per household 9 up, which is the main driver for the residential sector 10 consumption. Manufacturing output, once again, is going 11 down in that commercial sector employment is also going 12 down. So we're seeing this trade off, as I mentioned 13 earlier, really, you're seeing residential consumption continue to grow, but the commercial sector is, kind of, 14 taking a hit. Per capita income is declining but it's 15 not really -- it doesn't have much of effect as 16 17 residential sector in comparison to that person's per 18 household measurement. So overall, baseline consumption 19 is really pretty close to the same as 1.3 percent 20 annually for Edison, and then we'll see the sales remain 21 close to same as well in comparison to the 2017 22 forecast. As I mentioned, increasing persons per 23 household, really driving that residential sector 24 consumption, whereas that commercial sector -- take the 25 debt but more industrial and then ag is up just a tiny

CALIFORNIA REPORTING, LLC (510) 224-4476 -

1	bit. But once again, growth really warrants the same at
2	1.3 percent as far as consumption is concerned. So here
3	again, for Edison, we're looking at the managed sales,
4	which includes the AAEE as well as AAPV. Because we
5	made an adjustment to DWR for PG&E, we have to make the
6	inverse adjustment for Edison. So you'll see that drop
7	down a little bit looking at that orange line for the
8	new baseline forecast. But once again, really not a lot
9	of changes in PV as Sudhakar mentioned earlier today.
10	And no so therefore, there's not really much of a
11	change in the AAPV. So really, we're just growing
12	steadily or declining here in terms of managed sales,
13	fraction of percent lower over time.
14	And zooming on through, so we're getting to the
15	San Diego planning area. San Diego's the exception.
16	They're just their own planning area. There's no other
17	POUs in that particular area. Although, there's the new
18	CPAs that will be coming on soon. But once again, per
19	capita income here actually increases slightly, whereas
20	households, once again, is going down. Manufacturing is
21	doing down in addition to commercial employment. So we
22	see that baseline consumption here increase slightly
23	once again that, that tradeoff between the residential
24	sector increasing, but in this case, it's pretty matched
25	well by the commercial sector decline. So you end up

L

---- CALIFORNIA REPORTING, LLC (510) 224-4476 ----

with a pretty -- consumption ends up being nearly 1 2 identical in this case. Baseline sales, there's -- as 3 Sudhakar mentioned earlier, there's some changes, PV forecast for San Diego is a little bit higher, so you 4 see that decline there in comparison. 5 But let's --6 getting back to consumption here as I mentioned, 1.5 7 percent nearly matches 2017 forecasts. And then you can 8 see that commercial sector takes quite a bit -- takes, 9 takes quite a hit but then that residential sector is 10 mentioning it and a little bit of growth in, in ag while 11 industrial declines. But in the end, looking at the 12 managed sales, as I mentioned, largely increased, driven 13 by the increased PV adoption there, so you see it's slightly lower. But overall, the growth is decreasing 14 by .25 percent in comparison to 2017. So just a --15 remind folks that, that blue line up there is the 16 17 baseline forecast, and as we apply the AAEE and the AAPV, that brings us down to what the managed forecast 18 19 would be.

Jumping to LA DWP. Once again, we have per capita income, our household, manufacturing, and commercial. That commercial sector, once again, declining, whereas, households remain about the same here, but in the end, LA DWP, person per household is actually little bit higher than last time. So that's

· CALIFORNIA REPORTING, LLC (510) 224-4476 -

going to drive that, um, that baseline consumption up a 1 2 little bit. So in terms of baseline energy sales, um, 3 the growth is nearly the same as, as commercial sales decline, but once again, the residential sector, kind 4 5 of, picks up the slack, and baseline peak, we have a 6 slight growth, and that's because in the peak 7 econometric forecast, we use residential consumption as 8 a key driver. So if residential consumption is going 9 up, our peak's going to go up. It's less driven by 10 commercial sector usage.

11 So baseline sales, growth, as I said, slightly 12 slower in here, but you can see they're pretty smack dab 13 on top of each other. Really not a change, too much of a change in PV but less decline in persons per household 14 relative to 2017 keeps that residential consumption 15 up. So there's really not too much of a decline. I mean, 16 17 visually, you can, kind of, see that here. Looking at 18 the managed peak, this grows slightly higher in 2017. 19 As I mentioned, that's residential consumption really 20 driving that. But you'll see, we came down -- there's a 21 little bit less PV in this in comparison to previously. 22 So if you were to adjust that scale up, keep in mind 23 that we're using a different starting point here, we 24 would be still just a little bit higher in comparison to 25 2017 forecast.

CALIFORNIA REPORTING, LLC (510) 224-4476 -

And last, but not least, we'll move on to SMUD. 1 2 Per capita income here, as you see, takes a pretty big 3 hit, while households remain the same. Manufacturing output goes down as well as commercial employment. 4 So this ends up being sales growth -- sales growth ends up 5 being reduced by about two point -- .21 percent annually 6 7 here. And then the baseline growth at the end of the 8 day decreases slightly but remains pretty flat. So a 9 higher starting point as I mentioned but slower growth at 1.24 percent and that's the -- that decrease in 10 11 commercial sector consumption and sales. Really not 12 seeing that big increase in residential sales. And so we end up just above -- based on the new starting point, 13 14 just above what we had for 2017, but otherwise, that growth is a little bit slower over time. And there's 15 some additional PV coming on line as well that's making 16 that -- causing that slower growth. Looking at managed 17 18 peak, this is similar to -- I should have mentioned this 19 with -- we also put AE for POU as well and so we do a 20 projection for SMUD as well as LA that I showed before. 21 So we're including this here.Baseline growth is, you can 22 obviously see, it's pretty -- its going up a little but 23 as you include the AAEE or AAPV, the sales end up 24 being -- or sorry. The managed peak ends up being 25 pretty, pretty flat, but there is some decline in

· CALIFORNIA REPORTING, LLC (510) 224-4476 -

1	residential consumption but very little in comparison to
2	2017. So you end up with that there.
3	That's about it, but I would glad to take any
4	questions on these
5	CHAIR WEISENMILLER: Yeah. So
6	MR. GARCIA: before I move on.
7	CHAIR WEISENMILLER: So the first one was
8	just to refresh people you know, as we're adopting,
9	Silicon Valley Power came in and said because the data
10	centers, you know, we were underestimating the forecast
11	and they were deriving informing this time. I just
12	wanted to see how smoothly those discussions went.
13	Obviously, they, like anyone else, had the opportunity
14	to come in once they see the results and take issue with
15	them, but, you know, in terms of the data you need, you
16	got from them?
17	MR. GARCIA: Yeah. The data, we have that
18	data. That was pretty easy to incorporate into the
19	forecast. That's a minor adjustment that we have to
20	make, and we did something similar for City of Vernon,
21	but it looks like Chris is going to comment on that.
22	CHAIR WEISENMILLER: Yes, please. Chris,
23	go ahead.
24	MR. KAVALEC: Yeah, we had a couple meetings
25	with Silicon Valley, and they provided a forecast, and
	CALIFORNIA REPORTING, LLC (510) 224-4476

1	it looked pretty reasonable given the claims that they
2	were making, and so what we did was to take their
3	forecast for data center energy and peak usage and
4	adjust it downwards slightly to account for, for the
5	fact that we're able we're already going to have some
6	growth in that sector in that building type. So but
7	basically, it's, it's very close to what they provided
8	us.
9	CHAIR WEISENMILLER: Okay. I guess the
10	other thing I was going to at least frame up and, and
11	encourage, another component ultimately on the PC side
12	is the CCA part. You know, and that's something where
13	the last time around, we were struggling to catch up
14	with the growth there or expected growth. And so again,
15	process-wise just trying to figure out how we can
16	communicate best on the CCA part.
17	MR. GARCIA: Yeah, definitely. I think
18	we've talked about this, the adoption of the, the recent
19	IEPR forms for 2019. We really wanted to dig into the
20	CCA's a little bit more, and I've even thrown out the
21	suggestion I think to a few people here that having a
22	workshop, I think, for the 2019 to dig into that and how
23	we're going to do those projections because it's really
24	going to change, you know, 85 percent of mode is going
25	to be served by CCAs by still, still 2020 is the

Г

—— CALIFORNIA REPORTING, LLC (510) 224-4476 ———

1	projection, if not, sooner. That's going to be a
2	dramatic change I think in the comparison to how we're
3	doing things before, or maybe not. It just depends. I
4	think we need to discuss it and see what changes we need
5	to make to the forecast to look out for that.
6	CHAIR WEISENMILLER: Right. I think the
7	other thing we were finding in some of the PG and PC
8	on box is that a lot of the CCAs would come out
9	originally saying, "This is the plan," to do X, and then
10	when you push them, "Well, what are you actually going
11	to do next year or the following year?" It was a
12	fraction that you could anticipate. So again, that's
13	something that, I think, the two agencies need to work
14	through, how best to handle that.
15	COMMISSIONER RANDOLPH: Yeah. I think it's
16	going to present some interesting data challenges, too,
17	because you have you have the changing business
18	plans, but then you also have increased disaggregation
19	in terms of their different programs, their PV programs,
20	for instance, or their, um, or their rates. And, you
21	know, you guys are going to have to collect this, kind
22	of, the more disparate data and, and figure out how to
23	incorporate it. I wish I had helpful suggestions.
24	CHAIR WEISENMILLER: Yeah.
25	COMMISSIONER RANDOLPH: Workshops are
	CALIFORNIA REPORTING, LLC (510) 224-4476

Γ

1 probably good.

2	CHAIR WEISENMILLER: Workshops are good.
3	Yeah, and I mean, certainly, again, we just need to make
4	sure our staff and your staff are talking. You know,
5	you're right. I mean, once you get into you know,
6	because they're struggling to include the account of use
7	rates in the forecast and the question was, "Well, what
8	are the rate structures?"
9	COMMISSIONER RANDOLPH: Right.
10	CHAIR WEISENMILLER: And the CCAs and how
11	they differ across the other CCRAs.
12	MR. GARCIA: Yeah. One minor thing that
13	folks, maybe some folks aren't aware of, just thinking
14	about the rates and how we get them. With a lot of
15	cases, the utilities post those rates, but it's a minor
16	issue because many times, it's posted in a .pdf format.
17	So we don't really have, like, a nice database of rates
18	to go to. And so I think there's a lot of staff,
19	particularly, some of the PV forecasters that are going
20	into these .pdf, you know, file by file, pulling out the
21	rate information. I think even our, our POU rate
22	forecaster as well has done that. So it would be pretty
23	awesome I think if we had a nice database somewhere.
24	Maybe I don't know maybe I'm volunteering myself
25	to develop some database of this.

- CALIFORNIA REPORTING, LLC (510) 224-4476 -

1	COMMISSIONER MCCALLISTER: Actually
2	CHAIR WEISENMILLER: I would I would
3	note, Pat would point out and Pat is a class A market
4	oriented, you know, regulator from Texas saying one of
5	the things they did in Texas was for any, you know, SP
6	in Texas, they have databases, all the rate information.
7	So that, you know, if you're in Houston trying to figure
8	out which of these are you going to sign up with, you go
9	to the database and see what the rates look like for
10	residential, and he was in shock. There was nothing
11	comparable to that in California.
12	COMMISSIONER RANDOLPH: That does seem like
13	it should be a solvable problem.
14	COMMISSIONER MCCALLISTER: So yeah.
15	There's a lot of history with this discussion actually.
16	There was a strong recommendation action plan. There's
17	been, you know, for whatever reason, there's a lot of
18	resistance, you know, because maybe utilities doesn't
19	need the regulators to do this, and there are templates
20	for, you know, capturing the different elements of
21	virtually any rate structure. And so rather than post
22	them on as a .pdf, you know, and make somebody go
23	shape it, like Cary is talking about, you know, it's
24	already public information. So just make it accessible
25	to people, and now that everything's getting automated

CALIFORNIA REPORTING, LLC (510) 224-4476

1	on the web, you have a lot of third parties, and there's
2	a lot of people doing analysis that need access to
3	rates, and they get updated every month. They get
4	make adjustments, you know, the seasonal changes. And
5	so as soon as the utility has them and approved by the
6	POU oversight board, they, they could just be posted in
7	a machine readable format that would just go into the
8	ether and just permeate immediately throughout, you
9	know, the whole ecosystem of analysis including ours.
10	COMMISSIONER RANDOLPH: Well, now you're
11	going to have a lot more sources for that data. So you
12	have to figure out, you know, how you're going to
13	who's, who's going to be the home and, you know.
14	COMMISSIONER MCCALLISTER: Well, yeah. DOE
15	actually, you know, has had, you know, long-term effort,
16	sort of, to develop the template structure for that.
17	COMMISSIONER RANDOLPH: Okay.
18	COMMISSIONER MCCALLISTER: And so we're
19	you know, that, that when we first recommended this,
20	it's been four years since we put this into the
21	residential building action plan, but yeah, I mean,
22	who's counting, right, but since then, there's been a
23	fair amount of development on, you know, tools to
24	actually do it. And so I think, you know, there's no
25	reason why we there's not much reason why we would

Γ

CALIFORNIA REPORTING, LLC (510) 224-4476 ------

want to necessarily -- I think we should -- you know, 1 2 resources to get this stuff on line, you know, 3 relatively, expeditiously. MR. FUGATE: I just wanted to make 4 one 5 remark. I want it to be clear we are, are going to be 6 doing an update of the LSE breakout that we typically do 7 for this -- for this forecast update, too. So I wanted 8 to make it clear that that would be available next week 9 where, sort of, in this process right now of, you know, 10 completing all the forms, what we talked about today is, 11 sort of, the high level, but then we're looking at what 12 data is available in terms of, you know, for these new 13 CA that have gone online just within this last year. What load we expect them to be serving so we can do that 14 breakout for the new CCA. 15 CHAIR WEISENMILLER: Commissioner, is 16 there someone that the PCA should be talking to 17 specifically? 18 COMMISSIONER RANDOLPH: I would -- I 19 20 don't -- I don't know specifically who it would be. So 21 I would just reach out to Simon Baker and just, you know, talk about -- talk to him about who the logical 22 23 group would be. 24 MR. FUGATE: We'll do exactly that. Thank 25 you.

- CALIFORNIA REPORTING, LLC (510) 224-4476 -
COMMISSIONER MCCALLISTER: On this issue, I 1 was happy to see in the gap analysis actually, this was 2 3 a recommendation in that -- in that paper there came out from the -- and, you know, so this is definitely on, at 4 5 least, probably -- radar. And, you know, had some 6 interaction with them, and I mean, I totally agree with 7 you. It's a solvable problem, and I think there's 8 increasing awareness. 9 MR. GARCIA: Definitely alleviate some 10 headaches from lonely data analysts forecast 11 information. Okay. Let's see. I would like to invite the 12 IOUs up, and as well as LADWP or SMUD. Let's see. 13 Let's switch the order and let's see if there's folks on 14 line that would like to comment first. Should be 15 possibly Southern California, Edison. 16 17 Or please indicate if you have no comments. 18 Silence is an indication. 19 You should be able to speak if you're on the line. 20 I think our volume's a little low. Hold on 21 22 Hunyang. It's very faint. I think it's a problem on 23 our end. Give us one second. 24 Can you try again, Hunyang. 25 No. We're still having trouble. - CALIFORNIA REPORTING, LLC (510) 224-4476 -

1	Okay. Well, my master plan to start off with
2	people on the line, totally blew up in my face. So
3	sorry, Hunyang. We're going to have to reconnect. I'm
4	going to go towards the folks in the room now.
5	CHAIR WISE MILLER: Yeah. I would say
6	one possibility is if Edison were to send, say, either
7	an email, that she could read it for you, right?
8	MR. GARCIA: Hunyang, if you're there,
9	another option is to send IEPR team an email or WebEx as
10	well, and they can read it out given the technical
11	difficulties we're having.
12	All right. I see PG&E and staff there. I'm
13	going to invite you guys up. You can start if you have
14	any comments to provide either on either on this
15	planning area results or
16	MR. MOAZED: Yeah. Ali Moazed with the
17	resource forecasting team at PG&E. I just wanted to say
18	that we appreciate staff's cooperation and commission's
19	attention to these issues. I don't have any comments at
20	this time, but we definitely look forward to working
21	with you on improving the CRA forecast and the workshops
22	and resolving some long-term uncertainty and planning
23	around that.
24	So no comments at this time, but we, we will take
25	advantage of the comment period and final written
	CALIFORNIA REPORTING, LLC (510) 224-4476

Γ

1 comments. So thank you.

2	MR. GARCIA: Yeah. And I hear you have a
3	new forecasting team coming together. So we'll look
4	forward to working with you guys. We'll have to do a
5	meet and greet.
6	Ken, looking at you. San Diego.
7	MR. SCHIERMEYER: Ken Schiermeyer, San Diego
8	Gas and Electric. The only comment we have we're
9	going to reserve the, the written comment period. Once
10	we have a little more time to review the data and once,
11	once especially, once the forms come out early next
12	week, it will give us a little more time to digest, you
13	know, the information, but I want to thank the CEC staff
14	for, for working with us, and also, for, for the 2008
15	update. It seems like we're updating more information
16	like the EV and the PV. So that's I think that's
17	greatly appreciated. Those tend to be the technologies
18	that are moving the needle in the forecast. So that's
19	appreciated. So look for comments from us in written
20	form.
21	MR. GARCIA: Is somebody from SMUD in the
22	audience that would like to comment?
23	Nope.
24	LA DWP in the room or on the line?
25	All right. Should we try Hunyang one more time
	CALLFORNIA REPORTING, LLC (510) 224-4476

or read her comments? 1 2 MS. RAITT: "SDE would like to thank 3 commission staff for their collaborator efforts with SDE 4 forecasting team. We would like to offer a few high level comments at this point before further examining 5 the detailed report." 6 7 That's all I have right now. 8 "First, the peak shift results for SDE are still 9 puzzling to us. It is contradictory to what SDE 10 observed. SDE have seen late afternoon loads stay 11 strong and expect peak hours to shift to much later 12 hours." 13 MR. GARCIA: Okay. I would also -- last but 14 not least, I would like to invite Siva up if he would like to provide us some comments and then after Siva, go 15 16 back to --17 CHAIR WEISENMILLER: I was actually going 18 to say, are there any -- before -- just before, is there 19 any public comment? 20 MR. GARCIA: Oh. 21 CHAIR WEISENMILLER: And in general, 22 anyone other than utilities, obviously, is welcome. 23 MR. GARCIA: That's a good point. I get too distracted. 24 25 CHAIR WEISENMILLER: Oh, no. It's fine. CALIFORNIA REPORTING, LLC (510) 224-4476 -

1	Heather, do you have something to read from
2	someone?
3	MS. RAITT: I wasn't sure if we were in the
4	public comment period. So I have two comments from
5	Brian Kolodji from Black Swan Technologies, and I will
6	read them. The first one is he goes it starts,
7	
8	"ZEVs are expected to replace gasoline driven
9	cars if a carbon neutrality is to be achieved in 25
10	years, 2045, per Governor Brown's executive order
11	B-5518. For the California Energy Commission, the total
12	system electric generation produced in state by
13	California 2017 is 206,337 gigawatt hours. The concern
14	is that if all gasoline driven cars are converted to
15	electric driven zero emission vehicle cars, then 15.1
16	billion gallons of gasoline energy must be provided
17	regarding or as approximately 663,717 gigawatt hours.
18	This adds more than triple the electric power required
19	by the total California system electric generation to
20	the total California system electric generation. In
21	other words, when ZEVs replace gasoline driven cars, the
22	power required in California's total system power ranges
23	from 200,000 gigawatt hours to almost 900,000 gigawatt
24	hours. How has the power required by ZEVs expected to
25	be in place by 2045 been included in the forecast or

Γ

CALIFORNIA REPORTING, LLC (510) 224-4476

has the power -- excuse me -- required for ZEVs expected 1 2 to be in place by 2045 been included in the forecast?" 3 And Nick Fugate was going to briefly address 4 5 that. MR. FUGATE: So I thank Brian for his 6 7 question. Just a couple notes here. First note that 8 2045 is a little beyond the scope of the forecast that 9 we have put together here. And then I just -- so we're 10 looking at the 2030 for, for this forecast, for the IEPR 11 forecast. And I'll just reiterate a few points from 12 Aniss' presentation earlier this morning. So our current ZEV forecast in the reference case is looking at 13 3.64 million ZEVs by 2030, and in our highest case, 5.47 14 million. And for the reference case, the PEV portion of 15 that is expected to contribute about 16,000 gigawatt 16 hours of additional load. 17 18 MS. RAITT: Thank you. Okay. I'll read his 19 second comment. 20 "In 2017, renewable energy derived power inside 21 22 California is 61,183 gigawatt hours or about 30 percent. 23 Natural gas derived power inside California is highest 24 at 89,564 gigawatt hours or 43 percent. These percentages reduce by one quarter of ZEVs implemented. 25 - CALIFORNIA REPORTING, LLC (510) 224-4476 -

1	In other words, if we are to achieve carbon neutral,
2	renewable energies such as wind, solar, and hydro and
3	not by amassed, must be used. Can this type of
4	renewable keep up with the demand and its additions for
5	ZEVs? I suspect not as the IEPR currently shows only a
6	nine percent reduction over 20 years of, of excuse me
7	GHG 40 million tons out of 500 million tons. With ZEVs,
8	this nine percent drops to two percent, and it is
9	unlikely that the renewable energy would be able to
10	provide the 98 percent required over the 25 years, by
11	2045.
12	Would CEC consider utilizing capture from natural
13	gas or biomass power plant stacks to help meet carbon
14	neutrality goals, zero growth of carbon in the
15	atmosphere. Bio-sequestration technology such as crop
16	enrichment can achieve the carbon neutral goal earlier
17	than 2020."
18	
19	So, again, that was Brian Kolodji from Black Swan
20	Technologies.
21	CHAIR WEISENMILLER: Again, the simple
22	response is the, the Governor's executive order will be
23	worked into the next governing plan; certainly not now.
24	And at this point, we're looking at demand forecast as
25	opposed to but, you know, again, it's certainly good
	CALLFORNIA REPORTING. LLC (510) 224-4476

Г

1	questions. But longer-term questions that would be a
2	big issue, I think, in 2022 scoping plan.
3	MR. GARCIA: All right. We're going to try
4	to open the phone lines one more time. It sounds like
5	we have Ed Martinez from Southern California Edison on
6	the line.
7	Ed?
8	MR. MARTINEZ: Hi. Can you guys hear me
9	better than Hunyang?
10	MR. GARCIA: Yes. I can hear you way
11	better.
12	Huang, if you have Ed, Put Ed on the line. He
13	came in pretty clear. You're still, kind of, muted.
14	MS. SHANG: Am I still muted? I'm actually
15	using Ed's line.
16	MR. GARCIA: Oh, perfect. We got you loud
17	and clear.
18	MS. SHANG: Okay. All right so my name is
19	Hunyang Shang. I'm manager of demand area forecasting
20	in the southern California Edison. I'd like to offer a
21	few quick comments.
22	First of all, I'd like to thank commission staff
23	for their collaborative work with SD forecasting team.
24	Some area I'd like to point out to you is with regard to
25	the peak shift I really appreciate Chris Kavalec
	CALIFORNIA REPORTING, LLC (510) 224-4476

taking to SDE's comments with that being the most recent 1 2 hourly load history from SDE to the results that Chris 3 was showing earlier is still puzzling to SDE as we have observed our hourly load, especially in the late 4 afternoon, stay stronger than before. And so we would 5 6 like to further explore the approaches and examine the 7 results with CEC, and this greatly impact CEC peak 8 demand forecast.

9 Second, I'd like to comment on is with regard to 10 the long-term RA load forecast. As Chris showed 11 earlier, the monthly peak load shape at the TAC level, 12 it looks reasonable to SDE. However, we like to better 13 understand the future process between IEPR monthly peak 14 forecast and each LSEC monthly peak load forecast for our members as we will have many LSECs utilities serving 15 loads within each TAC area. 16

17 And the third comment is with regard to the sales 18 forecast. We made a quick observation with CEC staff 19 that our SDE overall sales forecast growth looks 20 reasonable. However, the first forecasting point in 21 2018 is different than SDE have picked out from the 22 actual. Our sales remain rather flex in 2018 compared 23 to 2017. Different than what CEC reflected in the 24 decline. So that's my overall comment.

MR. GARCIA: All right. Thank you, Hunyang.

· CALIFORNIA REPORTING, LLC (510) 224-4476 -

25

1 I think that's all of it.

2	MR. SIVA: Goof afternoon, commissioners and
3	Neil. Thank you so much for being here. As a team, we
4	just wanted to extend our thank you to all the
5	commissioners for the guidance as we tried to put
6	together the CS forecast and also try to dissolve a
7	number of different issues that, that came up at the
8	forecast. I also want to extend my thank you to the
9	JASC members, especially Simon Baker and Jay McCannon,
10	who is here from CPUC for their input and feedback. I
11	want to extend that to Delphine and Amber Motley from
12	CAISO for their feedback and also to quote from Aniss,
13	"takes a village to raise the forecast." I,
14	specifically, wanted to thank Chris Kavalec, Cary, and
15	Nick for their incredible effort this year to pull a lot
16	of weight just between them to make the forecast happen.
17	And I also wanted to acknowledge the delay on developing
18	the report as well as putting the forms out for public
19	consumption. We are going to try to do it in an
20	expedited fashion, hopefully, this week or early next
21	week and, and hopefully have discussions with the LSE
22	and continue to have discussions with CPUC and CAISO on
23	resolving any discrepancies. So I just wanted to close
24	that. Thank you so much.
25	MS. RAITT: so I think that's it for, for

- CALIFORNIA REPORTING, LLC (510) 224-4476 -

the agenda if you had any closing remarks. 1 2 CHAIR WEISENMILLER: No. Again, I'd like 3 to thank people for their participation. Certainly encourage everyone to really dig in. The information 4 was posted. You know, certainly, also going to 5 encourage the CAISO and PUC to dig in on any information 6 7 you have on the Edison peak shift question, you know, in 8 terms of what the shapes look like so that we can try to 9 get on top of that issue. Certainly, I think again certainly encourage the Edison in terms of informational 10 11 stuff. Bottom line, this is important. We're trying to 12 really do it right and looking for people's help to go through the process. There's a lot that came out today. 13 We'll be flushed out more fully early next week, and we 14 just really want everyone to dig into it, and certainly, 15 you know, as I said, if the people need more time 16 17 between when everything is posted or if they need a 18 webinar or whatever it is so that we can really dig into 19 stuff, but certainly let us know. At this point, 20 Heather will certainly repeat when -- as she has -- when 21 written comments are due. And Chris indicated, you 22 know, there's been this tradition of suddenly finding 23 the forecasters working through the holidays, but 24 certainly, comments earlier than later would be 25 appreciated by them.

· CALIFORNIA REPORTING, LLC (510) 224-4476 -

1	COMMISSIONER RANDOLPH: I will just echo my
2	thanks to Siva and everyone here who have been working
3	really well with our staff. You guys have done a huge
4	amount of work and have been very interactive and very
5	receptive to feedback, and I think it's been a good
6	experience, and we hope to, sort of, continue the dialog
7	as we go forward and try to avoid having you guys work
8	over the holidays.
9	COMMISSIONER MCCALLISTER: Okay. Go ahead.
10	MR. MILLAR: And on behalf of the ISO, I'd
11	just like to echo those comments. We really appreciate
12	the extra efforts especially on the hourly load shape
13	issues. That really moves the ball down the field for
14	us. Thank you very much.
15	COMMISSIONER MCCALLISTER: Great. So, you
16	know, I'll chime in here with, with equally positive
17	feedback for staff at all three agencies, and also just
18	highlight that RA, you know, discussion is a it's a
19	analytical discussion about the forecast, but it's also
20	a process discussion. And, you know, each agency has
21	its own, kind of, process it has to fulfill and ideas
22	about how to make things more robust from their
23	perspective. So I think taking into account, you know,
24	of those really, their administrative or regulatory
25	questions in each agency. You know, making sure that

Γ

CALIFORNIA REPORTING, LLC (510) 224-4476 ------

1	we're keeping it real and relevant for those discussions
2	as well is important. So I think that dialogue is even
3	more critical to, you know, ensure that we don't go off
4	track just in a practical way and just be pragmatic
5	about it. So thanks for keeping it going.
6	COMMISSIONER HOCHSCHILD: This is not easy
7	to do well. In fact, I think the job gets harder over
8	time. There's all these new even just walking to
9	lunch today, all these new electric bikes and other
10	two-wheeled electric devices that are proliferating
11	around the state. It's very difficult to accurately
12	forecast the rate of the growth on these, but the stakes
13	are obviously really high for a lot of reasons that we
14	get this right. So I really appreciate all the
15	agencies, and thanks, everybody.
16	CHAIR WEISENMILLER: We're good.
17	Adjourned.
18	
19	(Whereupon the proceeding concluded at 2:08 p.m.)
20	
21	000
22	
23	
24	
25	
	Left California reporting, LLC (510) 224-4476

1 I, Brittany Flores, a Certified Shorthand Reporter of 2 the State of California, duly authorized to administer 3 oaths, do hereby certify: 4 That the foregoing proceedings were taken before me 5 at the time and place herein set forth; that a record of the proceedings was made by me using machine shorthand 6 7 which was thereafter transcribed under my direction; 8 that the foregoing transcript is a true record of the 9 testimony given. 10 I further certify I am neither financially interested in the action nor a relative or employee of any attorney 11 12 of party to this action. 13 IN WITNESS WHEREOF, I have this date subscribed my 14 name. 15 16 Dated: 17 18 19 Brittany Flores CSR 13460 20 21 2.2 23 24 25