

DOCKETED

| | |
|-------------------------|-------------------------------------------------------------------------------------------|
| Docket Number: | 19-BSTD-01 |
| Project Title: | Draft 2019 Alternative Calculation Method Reference Manuals and Compliance Software Tools |
| TN #: | 227218 |
| Document Title: | Transcript - 2019 Draft ACM Ref Manuals Software Updates Workshop |
| Description: | CEC 2-13-19 2019 Draft ACM Ref Manuals & Software Updates Workshop |
| Filer: | Courtney Jones |
| Organization: | California Energy Commission |
| Submitter Role: | Commission Staff |
| Submission Date: | 3/1/2019 12:26:14 PM |
| Docketed Date: | 3/1/2019 |

CALIFORNIA ENERGY COMMISSION
PUBLIC HEARING

| | | |
|----------------------------------------|---|-----------------------|
| In the Matter of: |) | Docket No. 19-BSTD-01 |
| |) | |
| |) | |
| <i>2019 Building Energy Efficiency</i> |) | |
| <i>Standards Residential and</i> |) | NOTICE OF WORKSHOP |
| <i>Nonresidential ACM Reference</i> |) | RE: 2019 Draft ACM |
| <i>Manuals and Compliance</i> |) | Reference Manuals and |
| <i>Software Updates</i> |) | Compliance Software |
| _____ |) | Updates |

NOTICE OF PUBLIC WORKSHOP
2019 BUILDING ENERGY EFFICIENCY STANDARDS
RESIDENTIAL AND NONRESIDENTIAL
ALTERNATIVE CALCULATION METHOD REFERENCE MANUALS
AND COMPLIANCE SOFTWARE TOOLS

THE WARREN-ALQUIST STATE ENERGY BUILDING
ART ROSENFELD HEARING ROOM - FIRST FLOOR
1516 NINTH STREET
SACRAMENTO, CALIFORNIA 95814

WEDNESDAY, FEBRUARY 13, 2019

9:00 A.M.

Reported By:
Peter Petty

APPEARANCES

STAFF:

Larry Froess, Building Standards Office
Ronald Balneg, Building Standards Office
Peter Strait, Building Standards Office
Christopher Meyer, Building Standards Office

CONSULTANTS:

Roger Hedrick, NORESKO
John Arent, NORESKO

PUBLIC COMMENT: (* Via WebEx, phone, chat)

Richie Mohan, Goodman Manufacturing Company L.P.
Liam Buckley, IES Software
*Gina Rodda, Gabel Energy
*Michael J. Adams, Glumac
*Matthew Friedlander, RenewAire
*Farhad Farahmand, TRC Companies, Inc
*Elizabeth McCollum, TRC Companies, Inc.
Meg Waltner, ARUP for NRDC
*George Nesbitt, Independent HERS Rater

I N D E X

| | <u>Page</u> |
|------------------------------------------------------------------------------------------------------------------------|-------------|
| 1) Introductions & Housekeeping Larry Froess | 4 |
| 2) Staff Presentation Larry Froess, Draft 2019 Nonresidential ACM Reference Manual & Compliance Software Updates | 5 |
| 3) Public Comments | 19, 39 |
| Adjourn | 48 |
| Court Reporter's Certification | 49 |
| Transcriber's Certification | 50 |

1 P R O C E E D I N G S

2 JANUARY 13, 2019

9:02 a.m.

3 MR. FROESS: Welcome to the 2019 Alternative
4 Calculation Methods Reference Manual and Software Update
5 Workshop. I just want to an introduction here. Welcome,
6 my name is Larry Froess. I'm a Senior Mechanical Engineer
7 with the Energy Commission and also the Project Manager for
8 CBECC-Com. Also here is Todd Ferris. He's our Software
9 Unit Tools Unit Supervisor. So between us and the rest of
10 the staff it makes it work. Also, I have Roger Hedrick
11 here, with NORESCO. He's one of the consultants that helps
12 with the alternative calculation methods work.

13 For a little bit of housekeeping, if there is an
14 emergency and we need to evacuate the building, please
15 follow the staff to the Roosevelt Park, which is diagonally
16 across the street here. If you need to use a restroom
17 there's some right outside the door around the corner
18 there. And we have a snack bar up the stairs to the right,
19 up that way.

20 And just to let everybody know the workshop is
21 being broadcast with WebEx and it is going to be recorded
22 and we ask that all the participants present sign in on the
23 sign-in sheet. And for those that are on the WebEx online
24 you're going to remain muted during the process. And then
25 we're going to have a comment period, where if you'd like

1 to make a comment raise your hand and our WebEx operator
2 will unmute you and you can ask your question.

3 We're going to start with the people in the room
4 first for comments and then we'll go online and address you
5 alphabetically.

6 Here's a quick agenda of the workshop. I'll do a
7 quick overview of the ACM Manual and the software. Then
8 I'll go through the envelope, lighting and HVAC. Then
9 we'll stop and have a questions and a public comment period
10 and a break. And then after that, we'll cover the covered
11 process, water heating, some miscellaneous items and we'll
12 have a final comment period if there's some questions and
13 answers. And then when we're all done we'll have a
14 conclusion and adjournment.

15 So I'll just get started here. So a quick
16 overview of what the ACM process is or what it is, the
17 Alternative Calculation Method. And basically it defines
18 what the standard design will be for a performance model.
19 When you input your proposed features, it'll automatically
20 create a standard model based on prescriptive requirements.
21 And there's also some features that aren't in prescriptive
22 requirements such as like HVAC schedules, occupancy
23 schedules, HVAC performance curves and some pumping power
24 etcetera.

25 It also provides a set of software tests, which

1 is known as a reference method that will set the criteria
2 for software, to test themselves too if they want to seek
3 approval to be used to show Title 24 compliance.

4 And then also part of that ACM reference set is
5 appendices and they're listed there on the screen. And
6 these define the space use data, the occupancy schedules,
7 construction data and performance curves of various HVAC
8 equipment.

9 The ACM also specifies the input restrictions for
10 a proposed design. It'll limit, make sure you don't input
11 something below minimum mandatory equipment efficiencies or
12 go higher than like 100 percent of a glass on a wall. So
13 it does have some input restrictions that it makes sure the
14 model is realistic. Every input that is done on the
15 proposed will create a standard design input as well. So
16 it's going to automatically create a standard design model
17 in the software.

18 Some of the inputs are fixed for both the
19 baseline and the proposed model such as set points,
20 temperature set points, equipment set points, schedules,
21 design, occupancies, etcetera. There are some neutral
22 inputs that vary, but the baseline will match it and track
23 it like a sliding scale such as a window-to-wall ratio when
24 you're less than 40, the building geometry surface areas,
25 and the space type use. And then there's variable inputs

1 that are allowed to vary in the proposed design that you
2 can get some compliance or a penalty if you're over the
3 prescriptive allowance such as lighting power density,
4 equipment efficiency, U-Factors and pump power, for
5 example.

6 And some mandatories are not modeled, mandatory
7 measures. Those are things such as refrigerator
8 warehouses, outdoor sign and lighting controls, etcetera.
9 They're just not modelable.

10 So the performance method is an alternate method
11 to show compliance. You can use the prescriptive method as
12 well. But sometimes if you're proposed design doesn't meet
13 prescriptive requirements then you can opt to use the
14 performance method. And this would allow you to trade off
15 certain features that wouldn't be allowed, prescriptively.
16 So if you have higher window-to-wall ratio than
17 prescriptively allowed then you can trade it off with a
18 better envelope or lower lighting power, etcetera.

19 The goal also is that it's a fair method to
20 ensure minimum compliance that the CEC is striving to
21 reach. So the prescriptive requirements are what the
22 standards are based on. And the standard design model of
23 the software uses the prescriptive requirements to meet
24 that baseline. And that's what we're striving to meet.

25 The secondary goal is also for modeling of

1 alternate designs that are not specified in Title 24, Part
2 6, such as chill beams, thermal energy storage and new
3 features that we're constantly striving to get into the
4 software.

5 The software, CBECC-Com, there's two different
6 flavors. One of them is detailed geometry. This is where
7 you can use different software inputs to create your
8 geometry. We offer a free sketch-up version where you
9 create your geometry, 3D geometry, in there and it imports
10 it into CBECC-Com and gets modeled through OpenStudio,
11 EnergyPlus, and does the simulation. The benefit of that
12 is it actually is, as you can see in the diagram, the
13 software actually models the geometry and orientations with
14 poly lines and surfaces that touch and in a certain
15 orientations. And the benefit is the software will allow
16 for daylighting, like true daylighting performance and you
17 can get building shading such as that one where it's a U-
18 shaped building. As the sun travels throughout the day,
19 it'll shade the various parts of the building and the
20 performance affects it.

21 The simplified geometry model doesn't do that.
22 And you can see in that lower right picture that's what the
23 software does with this. It just kind of jumbles it all in
24 one axis. And it just goes into the software as geometry
25 with certain orientations, but doesn't take advantage of

1 the building shading or daylighting.

2 So we'll start with the envelope changes. This
3 is what the standards have done that will affect the
4 standard design baseline. So to start the envelope there
5 really hasn't been any substantial changes for the
6 envelope. Going from 2016 to 2019, there weren't many
7 values that were updated for the envelope. However, a new
8 feature was added for daylighting controls, which I'll get
9 into on the next slide. Essentially, this will allow for
10 clerestory credits. If you have a horizontal slats or
11 light shelves. And that'll apply a power adjustment
12 factor, which essentially helps reduce the proposed
13 lighting that acts as a credit.

14 We've also improved some of the modeling
15 approaches. And one of them, for example, is we can now
16 model a double stud or a staggered stud metal stud wall.
17 So it basically allows you to model two composites in the
18 software, where before it only limited you to one.

19 And there's also a new treatment in the
20 standards, which is for health care facilities. They are
21 now required to comply with certain portions of the
22 standards. And I will address them at every topic in the
23 slides here. And so essentially for the envelope the
24 healthcare facilities are required to comply with the
25 envelope requirements of the standards.

1 Lighting in the software was updated to match the
2 tables of 140.6. Along with that there is a lot of new
3 primary function areas. I believe it's lining up with
4 ASHRAE categories. And in the software it's called a space
5 function. So you're now selecting a space function, which
6 helps define the lighting category.

7 And as I mentioned before there's also some
8 advanced daylighting options for credit. It's the
9 clerestory horizontal slats and light shelves. If you
10 model them in the simplified geometry you just select the
11 power adjustment factor you're modeling and it will apply
12 the credit automatically. If you're using the detailed
13 geometry model it will automatically detect if you have a
14 clerestory, based on the definition in the standards. And
15 it'll simulate the actual daylighting and energy savings
16 performance of that 3D model. And it also allows you to
17 combine multiple power adjustment factors as defined in the
18 standards. And the healthcare facilities are also required
19 to comply with lighting.

20 Here's just a -- I know this is small, but when
21 you can -- you can look at this offline. Those three
22 highlighted power adjustment factors are the new ones.
23 There's a clerestory, which would essentially reduce five
24 percent off of your proposed lighting. The horizontal
25 slats would reduce another 5 percent. And the bottom one

1 is a light shelf and if that's installed per the standards,
2 you can get a 10 percent reduction in the lighting. And
3 you're allowed to combine the clerestory and the light
4 shelf. If done properly, you can get a 15 percent
5 reduction.

6 For the HVAC one of the big updates is the
7 ventilation. We added more categories, again lining up
8 with ASHRAE. And so now in the software we're actually
9 picking -- within each space category, there can be
10 multiple choices for the ventilation categories. And so,
11 that's a new feature in the software as well. And we'll
12 show that on the next slide that you pick, a vent function
13 for each space that you're defining.

14 There's also now a new exhaust ventilation
15 requirement in the standards. The software accounts for
16 that and it will know, based on the space type if exhaust
17 ventilation is required or not.

18 Part of the standards too is also an air
19 classification that prohibits certain classifications of
20 air being transferred to other spaces. Software is not
21 enforcing that, so the designers will have to make sure
22 that their designs meet the standards.

23 High-rise residential is another ventilation
24 update. That is being based on the ASHRAE 62.2
25 methodology. And it looks at the number of bedrooms and

1 calculates how many people there are from that, along with
2 the floor area.

3 Also new to the '19 is it no longer allows
4 operable windows or natural ventilation for ventilation.
5 It has to be controlled ventilation and that can either be
6 done by a supply-only based system, exhaust-only system or
7 a balance system. To help projects that are using
8 ventilation standards that aren't necessarily part of Title
9 24, Part 6 such as an OSHPD or ASPCAs or ANSI we added a
10 feature in the software that allows you to override the
11 Title 24-required ventilation rates. And it'll ask you to
12 indicate what agency or standard you're using. It'll
13 report that on the PRF-01. And when that's done the
14 standard design will essentially match the proposed rate.
15 But one thing to keep in mind is make sure that the system
16 -- the proposed system is sized properly to handle this
17 excess of outside air otherwise it'll be an undersized
18 equipment.

19 Healthcare for the ventilation rate is exempt
20 from the Title 24 Part 6, but is required to follow with
21 the California Mechanical Codes Chapter 4. And in the
22 software the standard design will match the proposed rate.

23 Here are some screenshots of this, what I was
24 talking about. So the high-rise ventilation is on the
25 left. That's where you'd input how many one bedroom units,

1 two bedroom, three bedroom, etcetera, and their square
2 footages. And then from there it'll calculate the
3 ventilation required for those spaces.

4 The other ventilation is on the top right. So
5 you pick the ventilation standard as another, and then that
6 description box opens up and you just type in whatever
7 agency or specification you're following. And that's what
8 will indicate to the software to the standard design will
9 match the proposed.

10 And then that bottom right is the healthcare
11 space. That's a new checkbox. And this is what allows the
12 user to indicate is the space a healthcare space or not?
13 There's also seven pre-defined space functions that will
14 automatically check that box. And that's straight from the
15 standards.

16 There's also transfer air limits for exhaust air
17 makeup. The software has maximum and minimum limits that
18 will allow for the transfer air to move, based on a per
19 floor basis. And it also allows spaces without dedicated
20 ventilation supplies to have outside ventilation treated.
21 And again, it looks at it on a per floor basis.

22 A change from the 2019 Standards is the
23 mechanical system shutoff, which is known as the window
24 interlock. Subsection 140.4(n), has been updated to now it
25 only applies to nonresidential buildings. High-rise

1 residential projects are exempt and healthcare facilities
2 are exempt from that.

3 One of the big changes that we've done in the
4 2019 ACM is we've revised the HVAC system map. It's kind
5 of hard to see in this, but again if you look at them
6 offline the information is there. One of the first ones we
7 did was for the residential, high-rise residential and
8 hotel/motel. Previously every level was based on a four-
9 pipe fan-coil system, which was a chiller, cooling tower
10 and a boiler, with hydronic piping. So we've adjusted it
11 now to seven floors and less. The baseline will be a
12 single zone AC, which is a DX air conditioning and a gas-
13 fired furnace and that's an individual per unit. Once you
14 go above eight floors, then it changes back to the four-
15 pipe fan-coil.

16 Another change is we've added a retail-building
17 category. And essentially the baseline will switch to that
18 and it's a single zone VAV with an asterisk. And I'll get
19 to that asterisk in a second. And so essentially if the
20 majority of the floor is retail space then the baseline
21 will assume that category.

22 What the asterisk is, is a single zone VAV would
23 indicate that it's a variable air volume package system.
24 So if you have a three-ton load, your baseline is going to
25 be compared against a single zone VAV. So we revised that

1 to follow the California standard requirements of when a
2 single zone is allowed and when it's not. And so we drew
3 the line at if it's less than 65,000 BTUs of cooling then
4 it will become a constant volume system just like your
5 regular constant speed package unit. And in addition, if
6 you're less than 54,000 Btus of cooling you don't require
7 the economizer as well.

8 So that also helps with the previous category
9 that used to be problematic when you had buildings less
10 than 10,000 square feet and two stories or less, you're
11 always compared against that VAV system. But we've changed
12 that in that Table 3, the very first one. There's now less
13 than 25,000 square feet, less than three floors, that is
14 also a single zone VAV with that asterisk. So that'll help
15 for the smaller projects that a regular constant volume
16 unit would be more cost effective for it. And we've also
17 revised that Table 3 to reflect more closely to the ASHRAE
18 90.1 Appendix G system maps.

19 And this is just more descriptions of what each
20 of the systems are. Single zone AC is a DX cooling with a
21 gas furnace, etcetera. This is just on here for reference,
22 that can be looked at offline.

23 We've updated the fan system power to the
24 Standard Section 140.4(c) when the nameplate horsepower
25 exceeds five horsepower. It essentially is coming from

1 ASHRAE exhaust fan power. And it's using the limit based
2 on what the standards say. And the exhaust fan power, in
3 the standard design will be proportionate to the total fan
4 power of the entire system. The standard design system
5 uses relief fans only. And the fan power adjustments are
6 also available in the ACM and the software for that Table
7 140.4(b). And there's various ways to select them in the
8 software when the correct model is modeled on with the
9 correct space types.

10 We've updated the cooling tower efficiency as
11 well. This applies when it's an axial fan open circuit-
12 cooling tower serving a chilled water plant. So when the
13 total condenser water flow is 900 gpm or greater, the
14 standard design will go to a 60 gpm per horsepower, for
15 climate zones 2 through 15 and in climate zones 1 and 2 --
16 or 16, I'm sorry, it'll go to 42.1 gpm per horsepower and
17 in any climate zone, when it's less than 900 gpm.

18 Healthcare facilities have a special treatment
19 for HVAC, where they are exempt from all of the space
20 conditioning requirements. But they still have to meet the
21 minimum efficiency requirements for the equipment. When a
22 healthcare is selected, as I previously showed when the
23 checkbox is checked, the standard design essentially
24 matches the baseline -- the proposed mode.

25 And in order for that to work out right the air

1 systems and the thermal zones must only contain healthcare
2 spaces. Because that's the only way the software can
3 exempt the air handling systems, rather than being compared
4 with the prescriptive requirement. So it's essentially
5 they have to be modeled as a dedicated HVAC system.

6 Again, and another new feature we're implementing
7 now is the variable refrigerant flow or VRF equipment for
8 compliance. We've had a research version out for over a
9 year just to test the waters. And so, for 2019 we're going
10 to allow it to be used for compliance. Essentially, we
11 model the inputs -- or actually so our VRF is a single
12 outdoor condensing unit with multiple indoor units.

13 There's various inputs that go along with the system such
14 as the air temperature, cooling capacity, heating capacity,
15 efficiencies, etcetera. And the outdoor unit, you have
16 some inputs on that as well.

17 We based the performance curves on the Florida
18 Solar Energy Center Report that was done a few years ago
19 that was supported by the Department of Energy. And just a
20 reminder too is that the standard design is still based on
21 an HVAC system map.

22 Here's a screenshot of the VRF input tab of the
23 various inputs that are required for it to run.

24 And unmet load hours is another topic. In the
25 2016 and late 2013 we disabled the enforcement of unmet

1 load hours, because users were pretty new to it and were
2 having some problems with it in understanding it. So we're
3 going to reintroduce it for the 2019 Standard, but we've
4 made it a little easier to comply.

5 So what an unmet load hour is, is the number of
6 hours during a year when the HVAC system has more than 150
7 hours outside that set point in any zone. So we've set it
8 up to where only spaces that would be enforced by the unmet
9 load hours are spaces that are normally occupied. So the
10 non-normally occupied spaces such as stairwells and
11 closets, won't have that restriction on them.

12 The reason for this is it allows a more fair
13 comparison with the standard design. It's more like it
14 gets it closer to an apples-to-apples with the loads closer
15 aligned with each other. It's currently not enforced in
16 the alpha version. It's still reports that when a run is
17 complete, it'll give you that screen that shows the number
18 of unmet load hours. But for the next versions, we're
19 proposing to have that implemented at that point.

20 There's a way to help a user if a design is
21 actually designed to have a small cooling system or the
22 software. This isn't modeling the loads as the engineer or
23 designer did, so in the thermal zone tab we've added this
24 add cooling system to meet load checkbox. And that'll
25 essentially add a phantom DX cooling system in the

1 background to the proposed model to help it meet the load
2 to get it below the 150 unmet load hours for that zone.
3 This will also be reported on the PRF-01 indicating that a
4 cooling system has been added to make sure the load -- the
5 loads are below the 150 unmet load hours, but it will not
6 report it as a system in the rest of the documentation.

7 Okay, so that's the first portion of the
8 presentation. We'll take questions now. Anybody in the
9 audience that has questions, we can take them now. And if
10 there's anybody online, I don't know if Ronald -- if
11 they're being queued up?

12 MR. BALNEG: (Indiscernible.)

13 MR. FROESS: Okay. Yeah, you can step up to the
14 microphone and please state your name and affiliation for
15 the record.

16 MR. MOHAN: Is this on? All right, thank you.
17 This is Richie Mohan from Goodman Manufacturing. I had a
18 quick question and perhaps a request on the CBECC-Com
19 capability for VRF equipment. I believe at this point when
20 we reviewed the beta version the fan consumption is a non-
21 editable (phonetic) field? It would be appreciated if we
22 can change that field to an editable field? I mean there
23 are indoor units out there that have a much lower fan
24 consumption than the default that has been put out there,
25 which is 0.687 watts per CFM. If to represent these indoor

1 units perhaps more accurately, having that field changed to
2 an editable field would perhaps be a better way to go about
3 it.

4 MR. FROESS: You mean the outdoor fan power?

5 MR. MOHAN: The indoor unit. Yeah.

6 MR. HEDRICK: Is that information that would be
7 available in the spec sheet that they would get for a unit?

8 MR. MOHAN: Yep, it should be. For the indoor
9 units, of course, there's some fan consumption information
10 that is out there.

11 MR. HEDRICK: Yeah, so --

12 (Off mic colloquy.)

13 MR. FROESS: Yeah, well we can take a look.
14 We'll make a note of that and take a look at that.

15 MR. MOHAN: Okay. All right, and then the other
16 question being in regards to the FSEC performance codes
17 being used, for this capability is there a consideration
18 from CEC for using another set of curves in the future?
19 And if so, what would be the steps to go about for having
20 another set of curves be perhaps proposed and then reviewed
21 by the CEC and eventually implemented?

22 MR. FROESS: Yeah, that is a great question.
23 Yeah, we are definitely open to that. We wanted to come
24 out slow as we say with a low bar for the VRF and not give
25 it more credit than it may be due. So we decided to go on

1 those Florida FSEC curves, but we are willing to look at
2 more studies, more research of more actual monitored
3 projects. And if they reveal that the performance is
4 better, because we admit that we know that FSEC was an
5 older, several year old report. And we know technologies
6 have improved.

7 So if they're brought to us for review, and it
8 meets our approval, then yeah then we can implement those
9 in there. Yes, we're definitely open for that.

10 MR. MOHAN: All right. Is there a certain
11 criteria that you're looking for, for validations of these
12 curves in some things?

13 MR. FROESS: Like real world monitored studies.
14 If there's any buildings that have been monitored, so we
15 can get a way to see how the energy meters can
16 crosstalk back into a performance curve? Things like that,
17 you know, more realistic studies.

18 MR. MOHAN: Okay. And again, apologies for the
19 follow up, but if you do have let's say, a validated
20 performance curve based on an example in a building is that
21 enough or are you looking for something which is perhaps
22 like a bit more -- and scoped around different climate
23 zones, different types of buildings in some things?

24 MR. FROESS: That would be helpful. I mean if it
25 was just like one room in a building that was monitored

1 that's probably not enough. We'd want more of a wider
2 spread or a more thorough study, maybe with some specific
3 lab testing or even a straight several buildings that have
4 been monitored, which I understand there are some in the
5 works but they haven't been presented to us yet. But we're
6 just on the side of the consumer, so we don't want to give
7 the impression that the VRF is saving a lot of energy, but
8 in reality their energy meters are still reporting high
9 energy use. So we just want to be careful with it and we
10 want to base on performance curves on reality of what
11 they're really doing in the field.

12 MR. MOHAN: Okay. All right, thank you.

13 MR. FROESS: All right. Thank you.

14 If there's no one else in the room, oh
15 (indiscernible)

16 MR. BUCKLEY: Liam Buckley with IES Software
17 questions, Larry, about the phantom cooling devices. Can
18 they independently be applied to proposed or baseline or is
19 it one or the other or is it only on proposed?

20 MR. FROESS: Well, the baseline is already auto-
21 sized to the space. I don't know if Roger or John can
22 explain more how that's actually working internally, the
23 phantom cooling, the DX cooling?

24 MR. HEDRICK: Yeah, that's just at an individual
25 zone level, so those are zone systems that are added.

1 MR. BUCKLEY: Only to proposed?

2 MR. HEDRICK: Only to -- right. And then the
3 baseline, of course, is sized to meet the loads by the --
4 sizes only.

5 MR. BUCKLEY: Got you. And the second question
6 about that phantom cooling, is that an override relative to
7 the 2016 Standards where the user could say the rated
8 capacity of X equipment is different than what's actually
9 in the design or is it they're both available?

10 MR. FROESS: I think it just adds on to it.

11 MR. BUCKLEY: It adds on?

12 MR. FROESS: So if you had a -- if EnergyPlus
13 says you have a five -- it's a five-ton zone, but you have
14 three-ton system installed, because you believe this really
15 should be a three ton it'll just add on I'll just say like
16 a two-ton DX along with it just to get it passed in that
17 load hour hurdle.

18 MR. HEDRICK: Yeah, that checkbox was originally
19 added, because we expected the designer to manually add
20 this phantom load. And then that checkbox was to tell or
21 report on PRF-01 that they had done that. And that's why
22 it doesn't match up with the drawings.

23 MR. BUCKLEY: Will that option still be
24 available?

25 MR. HEDRICK: It would. I'm not sure why you

1 would want to use it, though. I mean we haven't removed
2 that checkbox, but this really makes it move.

3 MR. BUCKLEY: Okay. Thank you.

4 MR. FROESS: No one else. I think we have
5 several people online.

6 MR. BALNEG: Gina Rodda from Gabel Energy is
7 asking, "How will the ventilation space type line up with
8 lighting space type?"

9 MR. FROESS: Well, I'll go back a couple of
10 slides here. All right, so at the bottom right there on
11 your space data tab there's a space function. That's not
12 highlighted, but it says "office area, office plan, open
13 office plan." When you select that, it'll try to pick the
14 best vent function that goes along with that, but if it's
15 not what it's supposed to be then you can click that vent
16 function pull down and then it gives you the selections
17 that you think it should be.

18 MR. HEDRICK: Yeah, so maybe more directly to
19 your point, the space function list is based off of the
20 lighting functions in the standards. And we need a
21 separate ventilation function, because the list of spaces
22 for ventilation rates is different. And so we have two
23 separate lists: one for lighting, one for ventilation. And
24 then we correlate them as best we can and allowed two
25 inputs.

1 MR. BALNEG: Okay. We have another question
2 from Michael Adams from Glumac. For the VRF system inputs
3 are horizontal and vertical refrigerant pipe runs -- oh,
4 I'm sorry -- for the VRF system inputs are horizontal and
5 vertical refrigerant pipe runs are user input and how do
6 they impact the performance and capacity of the system
7 model?

8 MR. HEDRICK: Yeah. Those are both user inputs
9 and there's a certain amount of degradation in performance
10 due to long refrigerant lines horizontally as well as
11 vertical rise between indoor and outdoor units. And so
12 both of those, as those two lengths get longer, there will
13 be a small performance degradation that gets applied.

14 MR. BALNEG: Okay, we have Matthew Friedlander.
15 I'm going to go ahead and unmute you now. Please state
16 your name and your affiliation.

17 MR. FRIEDLANDER: Hi, I'm Matthew Friedlander
18 with RenewAire. The question I have is in regards to the
19 fan power limits that were modeled on ASHRAE 90.1 --

20 MR. BALNEG: I'm sorry, Matthew. Can you speak a
21 little bit louder? We're having a hard time hearing.

22 MR. FRIEDLANDER: -- with the entirety of
23 (indiscernible) in 90.1 be reproduced?

24 MR. BALNEG: Hi, Matthew? Matthew, can you
25 please repeat your question and speak a little louder?

1 We're having a hard time hearing.

2 MR. FRIEDLANDER: Now I'm doubting that you can
3 hear me.

4 MR. BALNEG: Matthew, can you repeat the question
5 please? I'm sorry, Matthew. We're having a hard time
6 hearing you, we'll get back to you.

7 Next is Farhad Farahmand.

8 MR. FARAHMAND: Good morning. Can you hear me?

9 MR. BALNEG: Yes, we can. If you could speak a
10 little bit louder, though.

11 MR. FARAHMAND: Sure. My name is Farhad. I'm
12 with TRC. I have a question about the single zone air
13 conditioner that would be applied for residential and
14 hotel/motel guest rooms in seven or fewer floors. My
15 understanding is that the single zone air conditioner would
16 have a furnace heating system, which is a deviation from
17 the ASHRAE 90.1 hot water heating system that would be
18 served to a PTAC type of system. Wondering how the
19 furnace was developed as the heating baseline for this
20 space type. Thank you.

21 MR. FROESS: Sure. Thank you, Farhad. Yeah, the
22 reason why is because we're trying to make the baseline
23 match or equal to what's currently being installed out in
24 the industry. And it seems that for seven stories or less
25 the predominant installations are VRFs or mini-splits, not

1 hydronic necessarily. So that's the reason why we chose
2 that as a system type.

3 MR. FARAHMAND: So VRFs and mini-splits are
4 commonly installed in those situations. Those are served
5 with a furnace heating system?

6 MR. FROESS: The baseline will be a gas furnace,
7 yes.

8 MR. BALNEG: Hi, Matthew Friedlander? We're
9 going to unmute you and we'll try it again. Go ahead.

10 (No audible response.)

11 MR. FROESS: Okay. Well, it sounds like we can't
12 get Matthew back on here. So we're going to take a 15
13 minute --

14 MR. BALNEG: Well, we still have a couple of
15 others.

16 MR. FROESS: Oh! I'm sorry. Go ahead. Okay.

17 MR. BALNEG: Okay. Well, he sent the question to
18 me. So Matthew Friedlander is asking, "With regards to the
19 fan power limits, modeled on ASHRAE 90.1, will the entirety
20 of the Pressure Drop Allowances Table in 90.1 be reproduced
21 specifically for energy recovery devices?"

22 MR. ARENT: Hi. This is John. So we're basically
23 including allowances where that feature is required for the
24 baseline system, so things like energy recovery will not be
25 included for the pressure drop allowance. So pressure drop

1 allowance is I'd have to pull up the table, but it would be
2 for things like if extra filtration is required or possibly
3 a ducted return, but things like heat recovery that
4 baseline fan power will not be adjusted (indiscernible).

5 MR. BALNEG: Okay, we have a question from
6 Elizabeth McCollum. Elizabeth, I'm going to be unmuting
7 you now.

8 MS. MCCOLLUM: Hi. This is Elizabeth McCollum
9 with TRC and my question is related to Farhad's and that
10 is, well I guess it's two parts. Did you also find that
11 four-pipe fan coils were common in high-rise multifamily
12 buildings? And secondly, what data source did you use to
13 determine which system types were most common in
14 multifamily buildings?

15 MR. FROESS: Good question. We kind of drew the
16 line at seven floors, because when you're using a
17 refrigerant system like VRF normally line set lengths max
18 out around 70 or 80 feet. So when you go beyond that
19 generally you're going to get into sort of a centralized
20 system with a cooling tower, maybe a water source heat
21 pumps or other. There's really not a study. It was just
22 asking several, I don't recall them, reached out and asked
23 several companies what they see. And that was the answers
24 that we were getting and so that's the reason we're basing
25 our decision on that.

1 And if you have comments or reasoning why it
2 shouldn't be please docket it and let us know the reason.

3 MS. MCCOLLUM: Thank you. So, sorry I have one
4 more question again related to Farhad. So you mentioned
5 that the baseline system for buildings up to seven stories
6 is a gas furnace, but the common installation is a heat
7 pump. So is there a reason for that difference, I guess?

8 MR. FROESS: Yeah, because we're trying to follow
9 the ASHRAE Appendix G. Again, it's not 100 percent
10 perfect, but generally they're always using their gas as a
11 baseline for space heating. And so that's the reason why
12 we've kept it that way.

13 MS. MCCOLLUM: Okay. Thank you.

14 MR. FROESS: It's also a little more cost
15 effective if it's a heat pump that makes the TDVs go up a
16 little more. So it's kind of like keeping up with ASHRAE
17 and cost effectiveness.

18 MS. MCCOLLUM: Great. Thanks. And we do have
19 some data that we're willing to share related to common
20 system types in multifamily, so I will follow up with that.

21 MR. FROESS: That would be wonderful. Thank you.

22 MR. BALNEG: Okay, we have another question from
23 Michael Adams from Glumac. Is there going to be any added
24 capability to model a zone system with a two or three
25 variable speed fan -- variable feed span? Currently, it is

1 only constant speed unless modeled as an air system.

2 MR. HEDRICK: Really, that limitation came out of
3 Energy Plus limitations and we haven't looked at whether
4 they may have addressed those limits in more recent
5 versions. But that's certainly something we ought to be
6 doing even if we hadn't really thought about it, so we'll
7 look at that, but it's -- that was an EnergyPlus limitation
8 that we had to impose.

9 MR. FROESS: Okay. I think that's all the
10 questions we have in the room and online. So we're going
11 to take a 15 minute break just to -- just take a break. So
12 why don't we rejoin here at 10:00 o'clock and we'll start
13 the second half of the presentation.

14 (Off the record at 9:42 a.m.)

15 (On the record at 10:06 a.m.)

16 MR. FROESS: Why don't we grab a seat and we'll
17 start this back up in a few seconds here.

18 MR. FROESS: Okay, welcome back. This is the --
19 we're going to have a continuation of the Alternative
20 Calculation Methods Workshop. We're going to start.
21 First, we had a late comment before the break, so we're
22 just going to go back to a quick question slide here.

23 MS. WALTNER: Great. Can you hear me? Meg
24 Waltner from ARUP on behalf of NRDC. I just wanted to
25 comment on the HVAC system mapping and raise the concern

1 sort of broadly speaking that while we generally support
2 alignment with ASHRAE we're concerned that that alignment
3 is not in line with the state's goals for greenhouse gas
4 emissions reduction, in particular setting a natural gas
5 baseline for buildings that are using electricity as the
6 fuel. And the proposed design misaligns with the emissions
7 differences between those building types.

8 And what we'd like to see is similar to what
9 we've done on the residential side, having a same fuel
10 baseline for the proposed building. We think this will be
11 better in line with the emissions goals of the state.

12 You know, and you brought up the specific example
13 before the break about buildings less than -- high-rise
14 residential less than seven stories and what we're seeing
15 commonly there is VRF systems. But then we set the
16 baseline as a single zone AC with furnace. And that that
17 has a lower TDV, meaning that it might be harder for that
18 VRF system to comply, even though it has lower emissions.

19 So I just wanted to raise that as a concern and
20 hoping throughout the comment period we can continue to
21 have discussions about this and make sure that the ACM is
22 in line with the overall greenhouse gas emissions goals of
23 the state. Thank you.

24 MR. STRAIT: Certainly and thank you. We
25 definitely want to continue this conversation. As always

1 we are a data-driven shop, so the more data we can get on
2 actual install figures, actual efficiency figures, the
3 easier it is to make an argument for deviating from ASHRAE.
4 As you know there is generally a lot of pressure for on
5 California, when possible, to align with what the rest of
6 the nation is doing. We have no problem taking a
7 leadership role in dragging the rest of the nation kicking
8 and screaming behind us, but when we do so we just need a
9 strong data foundation for that so that it survives the
10 anticipatable criticism.

11 MS. WALTNER: Okay, great. And can I add one
12 other small detail on heat pump water heaters specifically?
13 I wanted to flag the concern that this concern that I just
14 raised makes it -- well, in the fact that you can't model
15 them makes them not an option as a central system under the
16 performance path, but also they appear to be eliminated
17 under the prescriptive path for multifamily currently. And
18 so that's a concern that we'd like to see addressed either
19 through an executive director equivalency certification
20 and/or through the ACM. So I wanted to raise that specific
21 issue as well.

22 MR. STRAIT: Sure, we're actually actively
23 involved in the VRF discussions taking place at the federal
24 level. We're also involved in a number of studies trying
25 to get an accurate relationship between the rating that

1 this equipment receives in the lab and what the actual
2 performance is onsite. So far we've had some difficulty in
3 establishing that bridge, but we do anticipate by the time
4 we actually -- by the time these regulations become
5 effective we should have some solutions in place.

6 MS. WALTNER: Okay. Great.

7 MR. FROESS: And to comment on the central
8 electric water heating, we are also working a path to have
9 a means to model electric water heating. There's a study
10 actually going on now for central heat pump water heating
11 systems that may take the rest of this year to get it done.
12 But in the interim, we may come up with a solution to help
13 with that.

14 MS. WALTNER: Okay. Great, thank you very much.

15 MR. FROESS: Okay. So the next items are the
16 updates for the covered process.

17 There's been two new sections added to the 2019
18 Standards. One is for the fume hood automatic sash
19 controls per sections 140.9(c)(4). (phonetic)
20 Essentially, this makes the standard design have automatic
21 sash controls that will vary the amount of exhaust going
22 out of these hoods that would save energy. So there's
23 certain criteria that would trigger this and when it does
24 the baseline would become -- would model this sash control
25 feature and with a VAV exhaust fan, saving energy in the

1 design.

2 And also, for the laboratory and factory exhaust
3 systems there are credits or requirements for that. You
4 have anemometer control, containment control and exhaust
5 treatment. We only modeled the exhaust treatment devices
6 in the software. I'm looking at John, sorry.

7 MR. ARENT: Yeah, so the treatment devices
8 there's an additional fan power allowance for that. And
9 then as far as the control options there are ways to
10 specify or indicate that you have either an anemometer-
11 based control or a contaminant-based control, but those
12 aren't explicitly modeled, but they're given equivalence to
13 the prescriptive requirements.

14 MR. FROESS: So they allow you to select, give
15 you no credit and no penalty, but as long as your design
16 shows them in there you're allowed to use that.

17 MR. STRAIT: Thank you.

18 MR. FROESS: Water heating is the next change.
19 Service hot water, which is for nonresidential spaces, you
20 can now define them as having gas or electric. A change
21 that we made in the standard design now is also aligning
22 with ASHRAE 90.1 Appendix G, is that some space types will
23 have a gas-fired water heater in the baseline and some will
24 have electric. It is generally based on spaces that would
25 have low hot water demand such as like an office or retail

1 that would have an electric hot water as the baseline.
2 Spaces such as kitchens and laundromats that have a high
3 hot water usage, those would have a gas hot water in their
4 standard design.

5 And the software will size itself in the standard
6 design based on the total hot water loads of the spaces and
7 it'll size the capacity of the hot water systems, but it
8 will go no lower than the 30-gallon storage. And that's
9 all done automatically.

10 Healthcare facilities are also required to comply
11 with the new water heating requirement.

12 High-rise residential, we've done this is 2016,
13 but we're just explaining it again is now that for high-
14 rise residential we've imported the residential California
15 Simulation Engine, CSE. That's what actually calculates
16 the hot water distribution losses and energy use of hot
17 water in low-rise multifamily, so we just imported this
18 into high-rise res. So the energy use of the hot water
19 should be darn close, equal to low-rise and high-rise.

20 We've also, because of that the residential
21 multifamily allows the installation of an electric water
22 heater when you have an individual water heater per
23 dwelling unit that could be a heat pump water heater that
24 you install. When you do that the standard design will
25 switch to a 2.0 UEF heat pump water heater along with a

1 basic compact hot water distribution and a drain water heat
2 recovery system.

3 So this would allow basically an all-electric
4 multifamily high-rise residential -- not all electric, I'm
5 sorry -- you still have the gas space heating. But you can
6 get the hot water heating to be all electric. And you
7 don't have to actually install the basic compact water
8 distribution or drain water if you just get a NEEA-rated
9 Tier 3 heat pump water heater. That essentially equates to
10 that same -- the same baseline that's being created there.

11 For central electric water heating as a commenter
12 mentioned before it's still going to use a gas water heater
13 for that system. And that's one when you have a
14 recirculation loop and when there are more than eight
15 dwelling units together.

16 There's the compact hot water distribution
17 systems has two types to it. There's a basic and enhanced.
18 These are both used for credits. And so the basic is a
19 non-HERS verified version of it. And if you want to go to
20 the enhanced that will give you the full credit of the
21 compact hot water distribution system.

22 And the drain water heat recovery system, that's
23 where you have essentially your shower drains tie into a
24 heat recovery system. That also can be used for credit and
25 would require HERS verification.

1 So just to cover just a couple of miscellaneous
2 items, speaking of the field verifications for the first
3 time in CBECC-Com when you model high-rise res, there's now
4 mandatory HERS verifications for the IEQ ventilation, for
5 the air flow. And also there's kitchen hoods; those have
6 to also be HERS verified.

7 The optional credits that can be modeled for
8 credit is enhanced compact hot water distribution and the
9 drain water heat recovery systems.

10 So our thought is, or the plan is before the
11 final version is released is that we're going to have the
12 software produced in what we call a bees.xml (phonetic)
13 file similar to how residential does it. And that would be
14 used to upload to providers, residential providers. And
15 that would give you a watermarked PERF report until it goes
16 through the HERS providers and gets registered. So that's
17 still in the works. The current alpha version does not
18 reflect that.

19 We're also proposing to have CBECC-Com engine
20 update and it's not in this current alpha version, but in
21 the next one we're going to upgrade the OpenStudio to the
22 current version or the latest version, which is 2.7. And
23 along that we'll go to EnergyPlus version 9.01. And this
24 will bring some benefits, because there's been bug fixes
25 and some feature enhancements brought to those versions.

1 And moving forward with CBECC we can tap into those new
2 features and improve the software as we go forward.

3 A couple of things to point out about the
4 reporting is the onscreen energy use summaries are accurate
5 in the alpha versions, but we haven't dedicated resources
6 and time to get the .pdf version, the PRF-01 Report as
7 accurate as it would need to be for this version. We'll
8 wait until the final certified version before that gets
9 perfected along with the software.

10 And this, here's a quick timeline of where we're
11 looking at. So we released this alpha version for the
12 public workshop in January of 2019. All of the materials
13 were posted, I think on January 28th or so. We're going to
14 work on a release candidate, which is what will be proposed
15 to the Commission to be used for the certified version.
16 That'll be released in April and again that will be posted
17 for the public to review as well. And at that point we
18 hope to have the CBECC-Com engine upgrades in there as well
19 as an unmet load hour implementation.

20 Once it's presented for approval to the
21 Commission and it does get approved, then it'll become the
22 1.0, 2019 1.0 which will be the certified version. That
23 will have the .pdf version of the PERF-01 corrected and
24 aligned to it. And that should be released in May. That's
25 our plan so far.

1 That's pretty much the end of this presentation.
2 We strongly encourage submitting written comments to our
3 docket. We would like to leave it open for real
4 consideration of comments by March 1st, 2019. It'll still
5 be open afterwards, but the later something gets submitted
6 the less priority it may have. And the information is on
7 the screen there.

8 (Off mic colloquy.)

9 MR. FROESS: Okay. I went out of order. We'll
10 take questions on whatever we've presented today and then
11 we'll have a final comment.

12 MR. BALNEG: We have a question from George
13 Nesbitt. George, I'm going to unmute you right now.

14 MR. NESBITT: Yeah. Can you hear me?

15 MR. BALNEG: Yeah. Go ahead.

16 MR. NESBITT: Yeah, just a couple of questions
17 and then also some comments. You just mentioned on the
18 multifamily high-rise that you're using the actual water
19 heating module from CBECC-Res. And I'm wondering on the
20 issue of ventilation and lighting since those all also
21 follow the same residential rules, how that's implemented?
22 Is that implemented the same or did you have to recreate
23 that in CBECC-Com? That's a question.

24 MR. FROESS: Yeah, the lighting is the same as it
25 has been having us locked in at a half-a-watt per square

1 foot. And that doesn't have anything to do with the
2 residential CSE. That's just fixed into the software and
3 that's not unchangeable. It's just strictly the water
4 heating portion is what's being used from the residential
5 CSE.

6 MR. NESBITT: Okay. Because I mean the
7 residential lighting basically requires all high efficacy,
8 but all right.

9 MR. FROESS: Yeah. Those are all mandatory
10 requirements. I'm sorry to interrupt you, those are
11 mandatory requirements, so that's not really software
12 controlled.

13 MR. NESBITT: Well, then I guess if you're
14 providing an energy budget of watts per square foot even
15 though it's a mandatory are you able to get credit by being
16 more efficient or do you get penalized for being less
17 efficient, because that's not available in low-rise
18 residential.

19 MR. FROESS: Yeah, it's the same thing with the
20 high-rise residential dwelling units. There's no input for
21 it and it's just neutral for the baseline proposed. But
22 for nonresidential spaces, of course, you model your
23 lighting.

24 MR. NESBITT: Okay. And then I think somewhere I
25 remember seeing reference that perhaps for nonres you were

1 going to allow non-CBECC engine software. Is that true and
2 is there any?

3 MR. FROESS: Yes. For the 2019 Alternative
4 Calculation Methods Approval Manual we have opened it up
5 for any third-party vendor to come through with their own
6 compliance engine to be certified as a Title 24 compliant
7 software.

8 MR. NESBITT: Okay. I mean I've been a very big
9 supporter of the Energy Commission's core calculation
10 engines, because I believe if you put the same inputs into
11 a piece of software you should get the same result. And
12 historically, that was not true in residential with
13 Micropath and EnergyPro.

14 So that's just a comment and so I think a couple
15 -- sort of a missed opportunity with CBECC-Res and nonres
16 is the ability to run a project as either a residential or
17 as a nonresidential. That's something that you could
18 always do in EnergyPro. And to me it just seems that the
19 development of the two should be compatible and there are
20 reasons you might have to go back and forth between the
21 two.

22 And then, I just wanted to comment on sort of the
23 issue of baselines, and people brought up going to a gas
24 baseline for residential units in like I guess seven story
25 and less buildings. I think the Energy Commission has to -

1 - I guess it really comes down to is are we trying to
2 establish what an energy efficient building should be or
3 are we going to establish that based on what the market
4 does? And because the market does this or that do we allow
5 them to use more energy or not versus you know, let's
6 establish what an energy efficient building should be. And
7 you choose how you deliver it and suffer the consequences.
8 Or how you build versus -- you know, instead of
9 accommodating you, because you use more energy intensive
10 systems therefore you've got to use more energy.

11 So I'd just comment on that. And that's it, I
12 guess,

13 MR. FROESS: Okay thank you for the comments,
14 George. We'll take those into consideration.

15 MR. NESBITT: Great.

16 MR. BALNEG: Okay, we have a question from
17 Elizabeth McCollum from TRC. How are you defining compact
18 distribution? Is it identical to residential or tailored
19 for multifamily?

20 MR. FROESS: It's identical to how it's being
21 done in residential, because that's part of the CSE
22 implementation of into com. (phonetic) So the residential
23 CSE (indiscernible) is modeling the compact water
24 distribution as well as the drain water heat recovery
25 devices.

1 MR. BALNEG: Okay, and then we have Matthew
2 Friedlander. I'm going to go ahead and unmute you now.
3 Hi, Matthew, are you there?

4 MR. FRIEDLANDER: Hi, this is Matthew with
5 RenewAire. Can you hear me now?

6 MR. BALNEG: Yes. Go ahead.

7 MR. FROESS: Yes.

8 MR. FRIEDLANDER: Sorry, I apologize if you
9 discussed this question while I was unable to hear. It
10 relates to the fan power limits that were taken from ASHRAE
11 90.1. And my question is whether you're incorporating the
12 entirety of the table of pressure drop allowances. You
13 showed some on the screen, but not all of them.

14 MR. ARENT: Yeah, this is John Arent of NORESCO.
15 So what we're doing we are essentially aligning with the
16 ASHRAE fan power limits, however we're not incorporating
17 all of the adjustments that ASHRAE has. And the reason is,
18 or the principle is, that we're only including the
19 allowance if there is a corresponding requirement in the
20 standards for a particular feature or device. So for
21 example, for things like energy recovery you would not get
22 an additional allowance for energy recovery on the pressure
23 drop if it's not required in code. And since it's not
24 required we're not including that in the allowance.

25 MR. FRIEDLANDER: Is there a way that if the

1 designer can show that in their particular application
2 energy recovery would be appropriate, that additional fan
3 power can be provided?

4 MR. ARENT: Well, I mean it's certainly allowed.
5 You know, all these features are allowed. I think the
6 thought is that if one of these features is provided that
7 you would presumably get some energy benefits and load
8 reduction that would offset the slight increase in fan
9 power requirement.

10 MR. FRIEDLANDER: Okay, and so that would show up
11 in your modeling compared to this baseline modeling.

12 MR. ARENT: Right. So it would depend on the
13 circumstances and the individual building model, but it's
14 quite possible that a building with energy or a system with
15 energy recovery that has a fan power slightly higher than
16 the baseline could perform better overall. It would depend
17 on how that washes out in the actual energy simulation.

18 MR. FRIEDLANDER: Thank you very much.

19 MR. BALNEG: We have one more question from
20 Michael Adams from Glumac. Is the ability to model a
21 noncompliance energy simulation being considered to be
22 added to the CBECC-Com platform that allows user input for
23 building schedules? This is beneficial for various
24 utility-based incentive programs.

25 MR. FROESS: Yeah, not at this time. We

1 understand what you're saying, but not at this time. The
2 reason could be is that how would it be verified in the
3 field easily. So by having fixed curves and schedules, it
4 kind of eliminates that variability of enforcement.

5 MR. STRAIT: Actually, I can --

6 (Off mic colloquy.)

7 MR. STRAIT: Yeah, I can add to that. That we do
8 get some requests for folks that do want to use the
9 software for programs outside of compliance verification
10 for Part 6. We do look at those, but unfortunately we do
11 tend to need -- necessarily to prioritize those under the
12 work that we do to improve the model for compliance
13 purposes. So certainly we're aware of that request, that
14 that could be useful for utility programs to layer on top
15 of the modeling some different usages assumptions, again
16 for verification on their programs. The software is open
17 source, so they are able to look under the hood and make
18 those modifications themselves for a version that they
19 might use for their programs. But it's not something that
20 we are typically able to dedicate state resources to do at
21 this point.

22 MR. FROESS: Okay, we have one more in-person
23 comment.

24 MS. WALTNER: Hi, Meg Waltner from ARUP on behalf
25 of NRDC. I just wanted to make a follow up comment on

1 water heating and emphasize -- well, say first that we're
2 supportive of the inclusion of the individual heat pump
3 water heaters for multifamily and think that's a great step
4 forward. But just to emphasize the point we made earlier
5 that we do still see the predominant system type for larger
6 multifamily buildings as being a central hot water system.
7 And the importance of being able to both model under the
8 performance path and comply prescriptively using a central
9 heat pump water heater. So I just wanted to emphasize that
10 point again. Thanks.

11 MR. FROESS: Thank you.

12 Okay, I think that's all the comments that we
13 have in person and online. I think we have one more
14 comment from Christopher Meyer who is the Building
15 Standards Office Manager.

16 MR. MEYER: Oh, hello everyone. I sort of wanted
17 to say thank you to staff for putting on a very clear
18 presentation and for all the people who traveled out here
19 to provide comments, those on the phone and the computer as
20 well. And all the people who supported the Standards
21 Office over the last several years to get to this point, so
22 that we're getting closer to another code cycle.

23 Commissioner McAllister was not able to join us,
24 but he wanted to send his support as well. Also to
25 emphasize his commitment and staff's commitment to making

1 sure that we have a product, a software product, that
2 really is helping people comply with the standards. You
3 know, that we provided tools that allow easy, clear, simple
4 methods to comply with the standards. Because as you can
5 imagine it doesn't do a lot of good to spend three years
6 working on very well thought-out standards that are not
7 easy to comply with or not easy for people to even know
8 whether they comply with them. So that's sort of our
9 ongoing commitment to making compliance with the standards
10 as simple as possible and to give options to designers to
11 have good buildings that meet the overall goals of
12 California.

13 And as many of you have heard, looking forward to
14 the 2022 cycle we're going to be putting the emphasis and
15 work into nonresidential and multifamily that we have been
16 putting into single family and low-rise residential in
17 previous cycles. So stick with us over the next several
18 years. We're going to be putting a lot of work into
19 nonresidential and multifamily in our standards.

20 So we appreciate all your help in working with us
21 to move those standards forward. Thank you.

22 MR. FROESS: Thank you, Christopher.

23 So again, I'd like to thank everyone for
24 attending and commenting and please try to get us comments
25 by March 1st, the sooner the better. That'll help us, keep

1 us on the priority list for considerations of any changes
2 that we need to make to the software. Thank you very much.

3 (The workshop was adjourned at 10:32 a.m.)

4