


COMMITTEE WORKSHOP
BEFORE THE
CALIFORNIA ENERGY RESOURCES CONSERVATION
AND DEVELOPMENT COMMISSION

In the Matter of:

Preparation of the 2008 Integrated
Energy Policy Report Update and the
2009 Integrated Energy Policy Report

)
)
) Docket No.
) 08-IEP-1
)

Long-Term Electricity Procurement
Issues



CALIFORNIA ENERGY COMMISSION

HEARING ROOM A

1516 NINTH STREET

SACRAMENTO, CALIFORNIA

MONDAY, AUGUST 18, 2008

10:04 A.M.

ORIGINAL

Reported by:
Peter Petty
Contract No. 150-07-001

COMMISSIONERS PRESENT

Jeffrey D. Byron, Presiding Member

Jackalyne Pfannenstiel, Associate Member

Karen Douglas

ADVISORS PRESENT

Laurie tenHope

Tim Tutt

Panama Bartholomy

STAFF PRESENT

Suzanne Korosec

David Vidaver

Mike Ringer

ALSO PRESENT

Simon E. Baker
California Public Utilities Commission

William B. Marcus
JBS Energy, Inc.
The Utility Reform Network

Fong Wan
Pacific Gas and Electric Company

Carl H. Silsbee
Southern California Edison Company

Jane Turnbull
League of Women Voters

Cliff Chen
Union of Concerned Scientists

I N D E X

	Page
Proceedings	1
Introductions	1
Opening Remarks	1
Presiding Member Byron	1
Associate Member Pfannenstiel	3
CEC Staff Presentations	3
David Vidaver	3
Mike Ringer	58
Afternoon Session	84
Presentation	84
William Marcus, TURN	84
Public Comments	100
Closing Remarks	144
Presiding Member Byron	144
Adjournment	146
Certificate of Reporter	147

P R O C E E D I N G S

10:04 a.m.

MS. KOROSEC: This is the August 18th Integrated Energy Policy Report workshop on procurement issues. I'm Suzanne Korosec; I'm leading the IEPR effort this cycle.

We'll just go over a few quick housekeeping items before we move on to the staff presentations.

For those of you who haven't been here before, the restrooms are out the double doors and to your left. There's a snack room on the second floor at the top of the stairs under the white awning.

And if there's an emergency and we need to evacuate the building, please follow the staff as we scurry out the door to the park across the street and wait for the all-clear signal.

I'll turn it over now to the Commissioners for opening comments.

PRESIDING MEMBER BYRON: Thank you, Ms. Korosec. Good morning. I'm Commissioner Byron; and I'm the Presiding Member of the Integrated Energy Policy Report. Welcome to our Committee workshop on the topic of electricity procurement.

1 With me is my Associate Member on the
2 IEPR Committee, Chairman Pfannenstiel. And I
3 believe joining us at the dais will be her
4 Advisor, Tim Tutt. And my Advisor all the way to
5 my right is Laurie ten Hope. I think Commissioner
6 Douglas will be joining us at some time during the
7 morning.

8 I really don't have any opening remarks
9 except to say that -- except to ask, I suppose, is
10 this the last of the 08 IEPR workshops, Ms.
11 Korosec?

12 MS. KOROSEC: No. We have another one
13 this Thursday on the accelerating -- excuse me,
14 achieving higher levels of renewables, and one on
15 the evaluation of the PUC self-generation
16 incentive program.

17 PRESIDING MEMBER BYRON: Of course. You
18 know, I really do that for the Chairman's benefit,
19 because I know how much she enjoys these
20 workshops.

21 I will make one comment, and that is
22 that the procurement's extremely important. It's
23 tied to many of the policies that we have here in
24 the state with regard to energy. And we identify
25 many of those in the Integrated Energy Policy

1 Report, and will be re-identifying them.

2 I think procurement links many of those
3 policies together. So, extremely important topic.
4 Thank you for organizing the workshop. I will
5 turn it over to my Associate Member for comment.

6 ASSOCIATE MEMBER PFANNENSTIEL: Thank
7 you, Commissioner Byron. I would just offer I
8 think there are people here who are wondering why
9 we're doing a workshop on procurement, isn't that
10 the PUC role.

11 Well, in fact, it's both of ours, and we
12 have different interests, but we share certainly
13 the concern that the electricity supply in
14 California is reliable and least costly, as well
15 as meeting other goals such as renewables.

16 So, we're vitally interested in the
17 subject, and I look at this as an opportunity to
18 learn and explore some of the issues. So, thank
19 you.

20 PRESIDING MEMBER BYRON: Good.

21 MS. KOROSEC: All right, with that we'll
22 begin the staff presentation. Mr. Vidaver.

23 MR. VIDAVER: Thank you, Suzanne. Good
24 morning, Commissioners.

25 My presentation today is largely a

1 summary of the activities both to date and planned
2 in the CPUC's 2008 and 2010 long-term procurement
3 proceedings.

4 It will focus on activities that relate
5 to the recommendations of the 2007 IEPR, and
6 potential procurement and planning-related topics
7 for consideration in the 2009 IEPR.

8 As the latter include environmental
9 considerations in long-term procurement and
10 planning for California's energy future beyond the
11 ten years currently covered by utility procurement
12 plans, these topics are explicitly called out on
13 this outline.

14 The presentation concludes with a
15 request for comments on and proposals for reducing
16 the likelihood that the procurement process will
17 select development projects that present
18 significant siting and environmental issues.

19 The 2007 IEPR recommended that Energy
20 Commission Staff collaborate with their
21 counterparts at the CPUC in a long-term
22 procurement proceeding in order to develop a
23 common methodology for the IOUs' ten-year
24 procurement plans.

25 The IEPR recommendations mirrored the

1 concerns of other stakeholders. Comments on the
2 2006 plans indicated a belief that the plans
3 failed to adequately consider significant
4 ratepayer risks, notably those tied to natural gas
5 prices and potential regulation of GHG emissions.

6 The parties also noted that comparing
7 plans across utilities, and aggregating them in
8 any meaningful fashion was hindered by the use of
9 different input assumptions, output formats and
10 reported performance metrics.

11 The IEPR also called for extension of
12 the time period considered by the plans beyond the
13 ten years currently evaluated.

14 The 2008 IEPR scoping order, as noted in
15 the introduction, calls for a report on the status
16 of the collaborative, an examination of selected
17 additional planning and procurement-related
18 topics.

19 The first two bullets on this slide
20 would be topics of discussion in this
21 presentation. Later this morning Mike Ringer will
22 be discussing the use of social discount rates as
23 they apply to fuel cost streams in the context of
24 planning and procurement.

25 The final bullet is one upon which staff

1 is seeking input. One of the reasons for this
2 workshop is to elicit public comment on
3 investigation and analysis of these and other
4 planning and procurement issues that should be
5 considered in the 2009 IEPR.

6 So, let's turn to the proceeding.
7 Before discussing the details of activities in the
8 long-term procurement proceeding it's perhaps best
9 to locate the proceeding in time and place, as it
10 were.

11 The 2008 proceeding, which will run into
12 2009, has been divided into two phases. The first
13 phase is addressing research planning-related
14 issues that must be resolved before the ten-year
15 procurement plans can be developed.

16 These include the issues of
17 standardization and choice of analytic methodology
18 raised in the 2007 IEPR, and comments on the 2006
19 plans, as well as issues surrounding the
20 consideration of GHG regulation in the resource
21 planning process.

22 In most proceedings phase two is not
23 planned, appearing only when parties come to
24 realize that there are some issues that have no
25 hope of being resolved in a timely and amicable

1 fashion.

2 In the 2008 long-term procurement
3 proceeding phase two was set forth at the outset,
4 earlier this year; is expected to open within the
5 next couple of months and be concluded early next
6 year.

7 It includes issues related to RFO design
8 and execution that need not be resolved before
9 directions regarding ten-year plans are issued in
10 or about April 2009. This, of course, makes these
11 good candidates for an ad hoc phase three, should
12 they prove to be really contentious.

13 What is noticeably absent from the 2008
14 long-term procurement proceeding is a ten-year
15 procurement plan, reflecting the importance the
16 CPUC is placing on resolving the issues raised in
17 the 2007 IEPR and in response to the 2006 plans,
18 before issuing directions to the utilities
19 regarding their next filings.

20 A primary purpose of these plans is to
21 determine the amounts and types of energy and
22 capacity products needed by the utilities over the
23 planning horizon in addition to those that are
24 soon to be provided by target levels of preferred
25 resources.

1 The CPUC develops targets for renewable
2 energy, energy efficiency and demand response.
3 The residual need for energy products after these
4 targets are met determine the amount of energy and
5 capacity as procurement is authorized.

6 For example, it is expected that the
7 utilities will be asked to assume energy savings
8 from efficiency programs based on the interim
9 goals established last month in D08-07047.

10 Similar targets will be set for renewable energy
11 and demand response.

12 In addition to estimates of resources
13 needed to meet bundled customer demand, the
14 utilities will also provide assessments of the
15 need for new generation capacity in their service
16 territories. Based on assumptions about demand
17 growth for both bundled and direct access
18 customers, capacity savings from energy efficiency
19 and demand response programs, and the retirement
20 of existing aging facilities.

21 The cost of this capacity, if not
22 procured in the form of utility-owned generation,
23 will be recovered from both bundled and direct
24 access customers.

25 I'd now like to turn to a discussion of

1 the standardization that will be imposed on the
2 2010 plans as recommended by the 2007 IEPR. It
3 extends across the five dimensions listed here.

4 While the next few slides discuss these
5 in a bit more detail, a brief description of each
6 may make the subsequent discussion a bit clearer.

7 Input assumptions for what I will call a
8 reference case include, for example, loads, fuel
9 costs, the costs of developing conventional and
10 renewable resources, et cetera.

11 The utilities will develop a preferred
12 portfolio of resources, including energy
13 efficiency and generation resources, for this
14 reference case. This preferred portfolio will
15 balance costs, risk and environmental factors.

16 Sensitivities consist of varying
17 individual input assumptions to test the
18 robustness of this preferred portfolio. For
19 example, natural gas prices can be substantially
20 increased to assess the impact of higher prices on
21 the cost of the portfolio.

22 Output reporting includes a common
23 format for reporting results so the parties can
24 easily sum the results for the three utilities.
25 Performance metrics for the portfolio, total cost,

1 total emissions, et cetera, are those numbers used
2 to compare portfolios and select the one or ones
3 that are preferred.

4 Scenarios are changes in several input
5 assumptions, changes that reflect the specific
6 future state of the world, as it were. These
7 might be a high carbon cost world in which natural
8 gas prices are higher and greater amounts of
9 energy efficiency are economic.

10 Scenarios are characterized by an
11 internally consistent set of assumptions that
12 reflect the unique future. As different scenarios
13 are modeled, different preferred portfolios arise.

14 And finally, the analytic methodology
15 refers to the process of selecting the preferred
16 portfolio for each scenario, and choosing the
17 preferred portfolio across each of the scenarios
18 modeled.

19 The planning process will yield one or
20 more preferred resource portfolios for each of the
21 utilities. The composition of these portfolios
22 is, in large part, a function of specific input
23 assumptions made, the most important of which are
24 listed here.

25 Higher load forecast, for example, mean

1 more resources are needed. Higher gas prices mean
2 fewer gas resources and more energy efficiency, as
3 do high carbon costs. Assumptions about the
4 relative cost of generation resources influence
5 the share of each of those resources in the final
6 portfolio.

7 By standardizing input assumptions to
8 the extent possible, the end result is plans whose
9 estimated costs are reflective of performance in
10 the specific future state of the world. And can
11 thus be easily compared across utilities.

12 There are limits to standardization.
13 Where it's inappropriate, it won't be required.
14 For example, conventional resource costs in the
15 L.A. Basin are higher than elsewhere due to the
16 need to purchase offsets. So Southern California
17 Edison, in their plan, will assume higher costs
18 for generic conventional resources.

19 And where a utility believes that a
20 nonstandard assumption has merit, they will be
21 encouraged to use it in additional analysis.

22 The 2007 IEPR noted that the 2006 plans
23 failed to adequately consider ratepayer risks
24 associated with natural gas prices and carbon
25 costs. In order to test the robustness of

1 portfolios, the changes in input assumptions, the
2 inputs that are significant drivers of portfolio
3 cost and composition will be systematically
4 varied.

5 Now, in the best of all possible worlds
6 we'll try and take a gas price and figure out what
7 the 90 percentile gas price and the 10 percentile
8 gas price is based on some sophisticated analysis
9 of historical data. However, this not only takes
10 time, many parties question the validity of
11 historical data in estimating future trends of the
12 values of variables.

13 For example, why should historical data
14 related to offset prices or carbon prices in the
15 European Union provide any indication of how
16 offset prices in California might behave. And
17 many parties have noted that empirical estimates
18 of gas price volatility based on historical data
19 are liable to under-estimate future gas price
20 volatility.

21 The one thing that we are certain of is
22 that these sensitivities will include broad enough
23 ranges of values to adequately reflect the risks
24 that ratepayers face. And they will be
25 standardized, so that when each of the utilities

1 assumes a high gas price, for example, the results
2 will reflect a single high gas price, and thus
3 allow the portfolios to be compared across the
4 three utilities.

5 The reference case load forecast will be
6 that developed by the California Energy
7 Commission. The same high and low cases will be
8 used if sensitivities are run on the load
9 forecast. It's anticipated that the range will
10 cover not only economic and demographic
11 uncertainty, the major drivers of historical
12 forecast error, but policy uncertainties, as well.

13 So, instead of a high load forecast that
14 is 3 or 4 percentage points above the reference
15 case forecast, one that is 6 or 7 percentage
16 points above the forecast might be used. The
17 point of doing this is to eliminate the need for
18 sensitivities and scenarios to handle every policy
19 contingency that might arise.

20 The reference case natural gas price
21 will be based on a single, yet to be determined,
22 methodology. The MPR methodology has been
23 suggested. In any case, early year prices are
24 expected to be drawn from the same day's forward
25 strip. This graph presents an argument for

1 assuming a very broad range of natural gas prices
2 for sensitivity analysis, an argument the CEERT
3 has made repeatedly in the proceeding, and one
4 that is supported by a large number of parties.

5 As at least one of the scenarios to be
6 evaluated by the utilities will include at least
7 33 percent renewables by 2020, it is all the more
8 imperative that a consistent and plausible set of
9 assumptions be made about the renewable resources
10 in portfolios, and their estimated and potential
11 costs.

12 In order to facilitate this, a
13 consultant hired to assist staff in the
14 proceeding, E3, is working with the output of the
15 RETI process. E3 intends to characterize
16 possible, if not likely, renewable resource
17 development in competitive renewable energy zones,
18 as identified by RETI, as well as the range of
19 potential development costs. The utilities will
20 then use this information to inform their 2010
21 plans.

22 We now turn to output metrics. In order
23 to compare resource plans against one another a
24 complete set of performance metrics, those that
25 will be used for the comparison, is needed.

1 Stakeholders are still being polled as to the set
2 of performance criteria that should be used to
3 evaluate the plans.

4 Clearly cost is a consideration. Net
5 present value portfolio cost is a number in the
6 billions of dollars. The levelized average retail
7 rate would make the import of cost differences
8 more transparent in such a large number. The
9 levelized average bill would not unduly penalize
10 portfolios that lead to higher rates solely
11 because of the inclusion of more energy
12 efficiency.

13 The range of costs, given sensitivities
14 and portfolio risk, is also a consideration in
15 keeping with the recommendations of the 2007 IEPR.
16 The level of CO2 emissions is, of course, an
17 important factor in evaluating a proposed
18 portfolio.

19 Reliability is important, as well. But
20 it's likely to be modeled as a constraint, plans
21 having to meet a planning reserve margin.

22 When all is said and done, the list of
23 performance metrics is not apt to be very long.
24 The more criteria used to evaluate resource plans,
25 the more difficult it is to compare them in a

1 consistent fashion.

2 Utilities will be asked to develop
3 portfolios for the same set of futures. In
4 standardizing the scenarios that are modeled by
5 the utilities, parties will be able to compare the
6 impact of different futures across utilities. So
7 each utility will model, hypothetically, a 33
8 percent renewable scenario, a high GHG cost
9 scenario and a high gas price scenario.

10 And the scenario will be identical for
11 each utility. The scenarios, themselves, will be
12 different enough so that each is likely to yield a
13 different preferred portfolio.

14 As I mentioned earlier, stakeholder
15 input on the desired set of scenarios is still
16 being sought. There are limits on the number that
17 can be run, and it's not yet obvious how the
18 preferred plan for each scenario will be selected.

19 How preferred plans will be selected and
20 ranked remains a largely open question. This is,
21 of course, a somewhat subjective undertaking.
22 Portfolio analysis allows you to compare different
23 resource plans with respect to cost, risk and
24 environmental factors.

25 But because these are likely to be

1 trade-offs, no one portfolio will be best on all
2 counts. The policymaker is still faced with the
3 task of selecting a portfolio based on some
4 implicit weighting of criteria.

5 I am now going to segue rather poorly
6 and quickly. The Commission has asked that staff
7 provide a brief review of the manner in which
8 environmental considerations enter into the
9 resource planning and procurement processes.

10 In resource planning the CPUC is charged
11 with evaluating resource plans based on a number
12 of metrics that jointly reflect the tradeoffs
13 between possibly conflicting objectives. These
14 are cost, risk, reliability and environmental
15 factors.

16 Environment factors are dealt with
17 directly by using CO2 levels as an output metric.
18 Resource plans are evaluated with respect to total
19 CO2 emissions, or emissions intensity.

20 As a result, regulators can weigh the
21 tradeoff between GHG emissions on one hand, and
22 cost on the other.

23 They enter directly into the portfolio
24 cost calculation through assumed CO2 costs.
25 Higher emissions portfolios, all else equal, are

1 higher cost due to the carbon cost that utilities
2 will be told to assume in the 2010 resource plans.

3 And finally, carbon risk is considered.
4 Portfolio costs will be evaluated over a broad
5 range of carbon costs.

6 In procurement, where utilities are
7 choosing between resources offered in an RFO, a
8 GHG adder is used to compare resources. This
9 value was endorsed several years ago and may seem
10 low, but it's not really had any impact to date.

11 Utilities have had a need for
12 dispatchable resources during the past several
13 years, limiting the extent to which conventional
14 and renewable resources have actually been in
15 competition in RFOs.

16 Note that there is --

17 PRESIDING MEMBER BYRON: Mr. Vidaver.

18 MR. VIDAVER: Yes, sir?

19 PRESIDING MEMBER BYRON: What's the
20 units on the bottom, the GHG adder, \$8.

21 MR. VIDAVER: It's \$8 per megawatt hour,
22 I believe, from the resource in question. Sorry
23 about that.

24 PRESIDING MEMBER BYRON: Okay, thank
25 you.

1 MR. VIDAVER: It's now, at this
2 escalation rate I think for plants that come
3 online it comes out to about 10.70.

4 Noticeably absent from this is in the
5 RFO process is any consideration of local
6 environmental issues, criteria pollutants, et
7 cetera. It's assumed that these issues are all
8 handled in the Energy Commission's siting process.

9 The likely treatment of GHG uncertainty
10 in the 2010 plans will be to assume a carbon price
11 and use sensitivity analysis to test the
12 robustness of portfolio costs to changes in the
13 carbon price.

14 A more sophisticated modeling effort in
15 which explicit assumptions are made about the cap-
16 and-trade regime that might be imposed would
17 require assumptions about the items listed under
18 the first bullet here, as well as the relative
19 costs of reducing GHG emissions across capped
20 sectors.

21 When more details about the cap-and-
22 trade regime are known, modeling for resource
23 planning will no doubt incorporate them. But the
24 2010 plans are likely to be limited to use of a
25 single carbon price, and range of carbon prices in

1 evaluating the portfolios.

2 The 2007 IEPR recommended that the
3 procurement plans submitted by the utilities
4 extend over a 20- or 30-year period of analysis.
5 On July 10th parties in the long-term procurement
6 proceeding were polled as to the need for the
7 utilities to provide portfolios, or assessments of
8 portfolio performance that extended beyond 2020.

9 If a party believed that such analyses
10 were necessary, it was asked to describe the
11 purpose of the analysis it proposed. The next few
12 slides are going to summarize some of the replies,
13 rather tersely.

14 PG&E noted that the uncertainty of
15 scenario inputs, load, fuel cost, development
16 costs, et cetera, as well as regulatory
17 uncertainty severely limit the value of analysis
18 beyond 2020.

19 San Diego Gas and Electric's reply was
20 similar, highlighting uncertainties surrounding
21 changes in technology, and pointing out that a
22 different set of analytical tools than those
23 currently used for the long-term procurement
24 planning is necessary.

25 Southern California Edison allowed that

1 decisions made in the next ten years could have a
2 significant impact on the mix of generating assets
3 in the following decade. But that uncertainties
4 beyond 20 years limit our ability to act
5 effectively now in response to the set of possible
6 futures that we might face.

7 The analysis implied is one in which
8 attempts to envision where we might want to be in
9 2030, and that evaluating present-day
10 alternatives, in part, in light of how they impact
11 our ability to get there.

12 CEERT comments focused on the need for
13 any analysis, regardless of length, to consider
14 the likelihood of very high gas prices. Of the
15 analysis it recommended, one scenario extended
16 analysis through 2030, recommending an
17 extrapolation of preferred resource additions for
18 ten years beyond 2020. And an estimate of the
19 resulting GHG reductions.

20 The recommendation here focuses on
21 estimating the GHG reductions, and not on the
22 costs of such a portfolio. Although I imagine
23 that CEERT and many others would expect that given
24 high gas prices, the value of GHG reductions and
25 advancements in renewable technology, that this

1 portfolio would be preferred to an alternative
2 that contained lesser quantities of preferred
3 resources.

4 And finally, NRDC, UCS posits that
5 focusing on meeting the AB-32 emissions limit for
6 2020 may lead to near-term investments that differ
7 from those that would lead to the most cost
8 effective portfolio needed to meet more distant
9 targets.

10 They also believe that data projections
11 for key assumptions are of sufficient quality so
12 as to allow parties to focus on least-cost
13 portfolios through 2030, rather than the current
14 2020.

15 Now, I'm reticent, as a member of joint
16 staff in the procurement proceeding, to make
17 statements regarding the likelihood or
18 desirability of the CPUC extending the planning
19 horizon to 20 years or more.

20 Rather than doing that I would prefer to
21 offer general observations about procurement
22 planning and forward-looking analysis over a 20-
23 year or longer period.

24 The purpose for my doing this is neither
25 to lay the groundwork for any specific staff

1 proposal for longer term analysis in the 2009
2 IEPR, nor to recommend specific direction be given
3 in the procurement proceeding, but to provide
4 material for parties here to respond to, if not
5 today then in post-workshop comments.

6 As I stated at the outset of this
7 presentation the purpose of this proceeding is to
8 elicit comments regarding what types of analyses
9 should be done in the 2009 IEPR.

10 I'd like to begin by discussing some of
11 the major post-2020 uncertainties, many of which
12 are of much lesser magnitude in the near term.
13 For example, we can be relatively certain of the
14 rate of load growth through 2020 compared to later
15 periods, given assumptions about energy efficiency
16 expenditures. Although I imagine your demand
17 forecaster would disagree with this statement.

18 Electrification of the transportation
19 sector is almost certain to raise the growth rate
20 in the longer term, but by an amount that's very
21 uncertain. Properly incented, this will raise
22 offpeak loads, influencing the need for baseload
23 and dispatchable generation.

24 Technological change is the biggest
25 uncertainty, one that is not a major consideration

1 in the short run. Changes in the relative costs
2 of energy efficiency and renewable generation, as
3 renewable technologies mature, will influence the
4 desired composition of preferred resources.

5 Different rates of technological advance
6 may dramatically influence the composition of
7 renewable resources. Advancement in solarvoltaic
8 and smart grid technologies may move renewable
9 energy generation from ridgetops and remote desert
10 regions to rooftops. Advancements in storage
11 technologies may help to move them back again.

12 The availability of clean coal and
13 nuclear generation become an uncertainty once we
14 move out beyond 2020. One that does not lend
15 itself to numerical analysis. While we can come
16 up with ranges for their costs, their inclusions
17 in the portfolio of tomorrow depends on a host of
18 factors that drive the potential for and cost of
19 lowering greenhouse gas emissions without them.

20 This uncertainty means that it's
21 difficult, to say the least, to develop least-cost
22 portfolios for 2030 and beyond. And while we know
23 that California has a GHG reduction target of 80
24 percent below 1990 levels by 2050, we do not know
25 the extent to which this task will be borne by the

1 electric sector, much less individual utilities.

2 Depending upon reductions extracted from
3 other sectors of the economy, GHG reductions in
4 the electric sector may be more or less.

5 If our goal is to reduce our reliance on
6 carboniferous resources, we've taken a large first
7 step with the emissions performance standard,
8 which precludes long-term investment in coal-fired
9 generation absent carbon sequestration.

10 But unless energy efficiency offsets all
11 peak load growth, there remains a need to invest
12 in gas-fired resources in the near and medium
13 term. Renewable resource that provide significant
14 capacity value are currently not being provided at
15 a rate needed to maintain reserve margins.

16 Some share of the capacity needed to
17 meet demand growth much be dispatchable.
18 Dispatchable renewable generation is in especially
19 short supply. Much of renewable generation is
20 currently remote, unable to contribute to local
21 reliability needs.

22 As we retire aging power plants in local
23 reliability areas we will largely replace them
24 with dispatchable gas-fired resources.

25 And finally, the increase in

1 intermittent generation requires dispatchable
2 backup. And while hydro resources can support
3 intermittence, the experience of the northwest
4 indicates that there are limits as to its ability
5 to do so.

6 Over the long term our need for these
7 resources, hopefully reduced need, is driven by
8 technological change and choices regarding
9 infrastructure. Wind turbines that perform better
10 at low wind speeds to reduce the need for
11 dispatchable backup. Low-cost biofuels to allow
12 for large quantities of dispatchable, clean
13 generation. Storage technologies, and, of course,
14 transmission.

15 This is not to say that we should ignore
16 short-term procurement decisions. We need to
17 monitor the procurement of new gas-fired resources
18 and develop transmission to insure that they're
19 designed and located so as to reduce the need for
20 such resources five and ten and even 20 years from
21 now.

22 I would propose that the search for
23 answers to three questions might be considered as
24 staff thinks about utility resource planning.
25 Earlier I presented a recommendation that CEERT

1 posed in comments in the long-term procurement
2 proceeding. That estimates be made of the GHG
3 reductions that would result if preferred resource
4 targets were linearly extrapolated from 2020 to
5 2030.

6 This is a good start. But coming up
7 with an accurate estimate probably doesn't require
8 a sophisticated data-intensive model. Of equal
9 and greater interest is how far GHG emissions can
10 be reduced by utilities given current technologies
11 and infrastructure, and assumptions about the set
12 of renewable resources that will be built over the
13 next five to ten years.

14 An assessment of how the constraints
15 that require gas-fired resources might be loosened
16 when offered insight as to the potential and
17 potential cost of lowering GHG emissions even
18 further. And the results of this inquiry will
19 shed light on the possible need for and potential
20 benefits of clean coal and nuclear generation.

21 That concludes the presentation with one
22 small addition. In the RFO process used to select
23 projects that the IOUs will contract with or take
24 over after construction, utilities are faced with
25 offers from projects in various stages of

1 development. Some are permitted; some are built;
2 others have yet to complete the permitting
3 process.

4 The CPUC has instructed the utilities to
5 consider viability, and more recently, the
6 possession or lack of a permit, in evaluating the
7 offers they receive. And there is no doubt that
8 they do so.

9 Yet several projects have been selected
10 that presented significant siting and
11 environmental issues. For example, the site, for
12 one, was not appropriately zoned. The applicant
13 was forced to withdraw when he was unable to get
14 local authorities to rezone his site.

15 Another initially approached the Energy
16 Commission with a proposal for cooling water usage
17 that seemingly ignored prior Commission statements
18 regarding the limited circumstances under which
19 usage would be allowed. The project was delayed
20 as a result.

21 The selection of projects is no doubt a
22 complicated undertaking with low costs and
23 desirable operating characteristics being balanced
24 against greater risk that the project cannot be
25 brought online in a timely fashion.

1 Nevertheless, because of the adverse
2 reliability consequences of delays and
3 terminations, staff is seeking comment from
4 parties on how the procurement and permitting
5 processes might be better aligned so as to limit
6 the frequency with which these problems arise.

7 And that completes my presentation.
8 Thank you. I hope I didn't speak so quickly as to
9 preclude questions.

10 PRESIDING MEMBER BYRON: That was kind
11 of quick, Mr. Vidaver. Could you repeat the
12 presentation, please.

13 (Laughter.)

14 MR. TUTT: At half speed.

15 PRESIDING MEMBER BYRON: At half speed.

16 So I'll start with a couple of
17 questions, if I may. Not with regard to the
18 presentation so much, as just general, additional
19 general information that might be helpful.

20 We talk in our IEPR about the importance
21 of consistency. The long-term procurement plan
22 should use common assumptions across utilities.
23 Can you speak to that a little bit? Can you give
24 us a sense of whether or not we've, indeed,
25 achieved that in your review of the various

1 procurement?

2 Also, what about some of the unique
3 requirements that come out of procurement, one
4 that I see occasionally, if not all the time, is
5 that it be new construction that be procured, that
6 kind of thing.

7 MR. VIDAVER: As noted in one of the
8 slides, the planning process is -- the procurement
9 plans are divided into what is basically an AB-57
10 component which is designed to shed light on the
11 bundled customer need, the contractual need of the
12 individual utilities. And a separate component,
13 in which the utilities do assessments of the need
14 for new capacity in their service areas, given
15 assumptions about load growth, demand response,
16 energy efficiency and what power plants will be
17 retired.

18 As part of the AB-57 component, the
19 utilities develop plans making sort of input
20 assumptions. I would guess that -- little better
21 than a guess, that consensus has been reached on
22 how all of these are going to be handled.

23 The utilities will use the CEC reference
24 case load forecast. If they do a sensitivity of
25 high and low loads, they'll use the same

1 percentage changes so that the impact of an
2 unspecified policy that reduces load by 2 percent
3 or increases load by 4 percent can be compared
4 across all the utilities.

5 They will be required to use the energy
6 efficiency targets established in the D08-07047.
7 They'll be required to use the same gas price
8 forecast, but by that we don't mean that they'll
9 all use \$7.42. They'll all use the forward price,
10 as it were, on the specific date, adjusted for
11 basis or the cost of transporting the gas from, in
12 San Diego's case the cost of transporting the gas
13 from the SoCal border to San Diego, which I don't
14 know the value. But their gas price forecast
15 might routinely be 8 cents or 20 cents higher than
16 Southern California Edison's.

17 The electricity price forecast, we've
18 all agreed, that they can use different values.
19 The way they develop that methodology they use is
20 slightly different for Southern California Edison.
21 It's not a very -- well, it's a key assumption;
22 it's very easy to verify that the assumption is --
23 the veracity of the assumption that's made.
24 Parties can very easily go in and check to see
25 that, given the gas price, the market electricity

1 price assumed by the utility really does reflect
2 an accurate value.

3 The utilities will all be told to assume
4 the same carbon cost, a high or low. And the same
5 high or low carbon cost. As I mentioned, they'll
6 be told to assume the same conventional resource
7 cost, but the cost of developing combined cycle in
8 the L.A. Basin is going to be higher because of
9 the cost of obtaining offsets there. So Southern
10 California Edison will use a slightly higher value
11 in their analysis.

12 And the renewable resource buildouts and
13 costs are going to come out of the analysis that
14 E3 is doing, based on the RETI report. The
15 utilities will be allowed -- E3 is actually going
16 to go in and posit what's going to be developed
17 where. And what a reference case cost for that
18 is. And the utilities will effectively be
19 required to build out their portfolios based on
20 the set of resources that RETI -- that E3 comes up
21 with.

22 If RETI posits a range of potential
23 development costs for let's say wind generation,
24 then the utilities, in doing sensitivity analyses
25 will have to use those high and low values in

1 estimating the potential range of ultimate
2 development costs.

3 I imagine -- there are other things that
4 are pretty easy to standardize. Use of the -- the
5 inflation rate use, for example, is going to be
6 standardized. But that really doesn't have much
7 of an impact on the portfolios that you produce.

8 So, there's a great deal of
9 standardization. And as I said, the utilities, if
10 they firmly disagree with a kind of reference case
11 forecast for any of the important variables,
12 they're encouraged to explain why they think that
13 value's incorrect; and do analysis using another
14 value for that variable. They have to do analysis
15 using that reference case value that can present
16 alternative values, if they so choose.

17 As far as new generation is concerned,
18 this is -- the utilities have to make assumptions
19 about load forecasts and energy efficiency and
20 what they can get from -- the capacity savings
21 that they can get from demand response. And these
22 are all pretty well set, as you can see.

23 The differences in assumptions largely
24 come down to what the utilities assume are going
25 to be retired. Now, there was some talk about

1 requiring a priori the utilities would have to
2 assume that the following plants would be retired
3 in their service areas.

4 I'm not certain that this is going to be
5 the case. It requires that some benevolent
6 dictator, say, make the following assumptions
7 about plant retirements. If you allow utilities
8 to use their own assumptions, it's very easy to
9 check and see. They assume that plants A, B, C
10 and D are going to be retired. And the impact of
11 retiring an additional plant, or not retiring a
12 plant is very transparent and easy for anybody to
13 calculate.

14 So, if a utility assumes that a brand
15 new power plant is going to retire, and therefore
16 that it should be allowed to procure capacity on
17 behalf of all customers to replace that, I imagine
18 that the PUC would -- that plant's not going
19 anywhere.

20 And the decisions about which plants are
21 going to be assumed to be retired, and therefore
22 the amount of capacity that the utility can
23 procure on behalf of all customers is something
24 that's discussed in hearings. And all parties can
25 provide testimony as to whether or not those

1 assumptions are reasonable.

2 In the 2006 plans the utilities were
3 asked to assume that the aging power plants that
4 came out of the 2004 report by the Energy
5 Commission were retired. So all of those plants
6 in northern California were retired by 2015. All
7 of the aging power plants in southern California
8 were retired in a staggered fashion over 2015 to
9 2018. And the amount of new generation which
10 utilities were allowed to procure fell out from
11 those assumptions.

12 So, I would imagine that the State Water
13 Board's rule will be a consideration in developing
14 the amount of new generation that will need to be
15 built, and possibly funded by the utilities.

16 The Public Utilities Commission, a
17 couple of years ago, realized that energy service
18 providers simply did not have the capital to
19 construct new capacity. So it required that the
20 major investor-owned utilities fund new capacity.
21 And then allocate the costs of that capacity to
22 energy service providers on a pro rata basis, with
23 the energy being auctioned off after the plant was
24 constructed.

25 And the utilities will be quick to point

1 out that they were only authorized cost recovery
2 for those plants being built on behalf of all
3 customers for a ten-year period. And this is a
4 kind of sore spot. They think that if 92 percent
5 of a power plant is being built, and only 92
6 percent of a power plant is being built, to meet
7 bundled customer needs that they should be
8 entitled to recover that 92 percent beyond a ten-
9 year period.

10 I hope that doesn't further muddy the
11 waters. I apologize.

12 PRESIDING MEMBER BYRON: Thank you. You
13 know, you cited some cases from recent siting
14 projects at the Commission. And it brings to mind
15 the fact that there's, you know, there's other
16 potential issues that will arise here over the
17 course of time. Issues that are difficult to
18 assess when doing procurement. The priority
19 reserve issue in southern California. Sometimes
20 developers are somewhat new to California, maybe
21 not experienced with the thoroughness of our
22 process and some of the environmental concerns
23 that you raised.

24 Do we, as a Commission, do we look at
25 any of these kinds of issues -- I'll ask this a

1 little bit differently, David. We've got a number
2 of large land use applications that may or may not
3 come before the Commission. A lot of renewable
4 projects that are thermal will fall under our
5 purview and some that will not.

6 I'm quite concerned about the
7 constituents that we're now seeing in these cases
8 are new to us, new to the process. I consider the
9 ones that are outside our purview high risk for
10 potentially not being able to get through the
11 local siting processes successfully.

12 Is this also what you mean when you were
13 talking about environmental issues?

14 MR. VIDAVER: The --

15 PRESIDING MEMBER BYRON: Environmental
16 issues that weren't necessarily considered in the
17 selection process.

18 MR. VIDAVER: Yes. Yeah, I did not mean
19 to, in referring to criteria pollutants and local
20 environmental issues, those were examples. I
21 didn't mean to imply that those were -- that was
22 an exhaustive list of the environmental issues
23 that arose in the construction of capacity to meet
24 California energy needs.

25 I don't work in our siting division. I

1 understand that a good deal of time and effort is
2 being devoted to making sure that parties know
3 enough about our process to be able to go through
4 it quickly. As well as to look at other
5 processes, BLM, for example, and see how those
6 might lead to problems.

7 PRESIDING MEMBER BYRON: So there's a
8 lot of things to consider in the procurement
9 process. A lot of things that may be beyond
10 control of the utilities doing the procuring.

11 What are the consequences if they're not
12 able to, I suppose we'd call that contract
13 failure. What are the consequences if they don't
14 procure sufficient resources.

15 MR. VIDAVER: Well, in the worst case,
16 lights go out. But we don't tolerate that, so we
17 end up with sort of ad hoc ways of making sure
18 enough capacity comes online soon enough to keep
19 the lights on.

20 So, we end up with things like emergency
21 peakers being built. As you know, one could go
22 all the way back to 2001 and look at expedited
23 siting processes and executive orders. And more
24 recently, the procurement -- or the request to
25 procure resources outside the competitive

1 procurement process.

2 So, we end up paying, perhaps, two
3 prices. One is a higher price because we're sort
4 of trying to buy insurance when the house is on
5 fire. And there's also a credibility concern. As
6 more and more of our resources are procured
7 outside of a competitive process, whether
8 justified or not, parties come to question whether
9 or not that process is actually above-board and
10 truly competitive.

11 PRESIDING MEMBER BYRON: Madam Chairman?
12 Thank you.

13 ASSOCIATE MEMBER PFANNENSTIEL: David,
14 would you help me understand a little bit about
15 the transparency or the confidentiality, the other
16 side of it, of the information.

17 Clearly, the standard input assumptions
18 are known publicly, and we work on them, and we
19 all know what they are, and so they go into the
20 input to the model.

21 But then at some point the decisions
22 that the utilities make on their portfolio, their
23 procurement to their portfolio, at some point that
24 becomes, the cost thereof becomes confidential.

25 And where is that? At what point -- is

1 it just the bids that come in, and then the
2 decisions are confidential? But as long as it all
3 fits into what has been modeled then it is deemed
4 by the PUC to be okay?

5 We lose track of that. And certainly as
6 Commissioners who are not privy to the resource
7 groups sort of see that effect, but we don't
8 really see how the evaluation is done.

9 MR. VIDAVER: Well, I guess I'd like to
10 divide that into two parts, one being the long-
11 term plan, and the other being sort of procurement
12 and bid evaluation and offering contracts.

13 One of the advantages of standardizing
14 input assumptions and prescribing the input
15 assumptions that utilities will use in their long-
16 term plans is that they are no longer
17 confidential.

18 A utility, in using its own gas price
19 forecast, can claim that that forecast is
20 confidential. When you tell the utility what
21 forecast to use, that's now public information.

22 So, we've come a long way towards making
23 the procurement plans more transparent. There are
24 still elements of the plans that are confidential.
25 For example, the utility, in creating its

1 portfolio, has a model which dispatches all its
2 resources, and it tells you effectively when it's
3 going to run this plan and how much energy it's
4 going to require from this contract, et cetera,
5 that information remains confidential for, I
6 believe it's -- much of that information remains
7 confidential for the first three years of the
8 plan. But we've taken a step forward in making
9 the procurement plan a little more public.

10 As far as bid evaluation and
11 transparency in how projects are chosen in the RFO
12 process, part of the confidentiality arises from
13 the needs and interests of the bidder, himself.
14 The bidder is frequently -- I don't know if it's
15 part of boilerplate language in RFO documents or
16 in offers, the utilities can address that. But
17 some of the information is kept confidential at
18 the request of bidders.

19 Regarding the process, the criteria that
20 utilities use, all of the criteria, themselves,
21 are known. Those criteria are prescribed by PUC.
22 Details about how those edicts are interpreted by
23 the utilities are published and are available.

24 There are a number of criteria which are
25 qualitative in nature, which makes it more

1 difficult to represent the decision in the form of
2 an equation. So, the exact sort of numeric
3 scoring bit is not something that the public is
4 privy to.

5 As parties testified in the workshop on
6 PRGs stated, believe that some of this information
7 should be kept confidential to insure competitive
8 responses.

9 There's also a need, I believe, to
10 provide enough information to bidders to let them
11 know exactly what criteria -- it's not so much the
12 criteria, I'm not sure the entire set of criteria
13 that a utility could use in evaluating bids can be
14 anticipated and made public beforehand.

15 I think it would be a very good idea if
16 the CPUC and others went through the past RFOs and
17 looked exactly at what criteria were used to see
18 if additional criteria could be added to this list
19 that might be considered. I don't think anyone's
20 ever gone back and done a good review of the
21 extent to which the publicly available information
22 regarding bids and their evaluation is as large as
23 it could be.

24 ASSOCIATE MEMBER PFANNENSTIEL: Back to
25 the question on the standardized assumptions. As

1 you described, I think, quite well, there are some
2 sensitivities in some scenarios that go around
3 each of these assumptions.

4 Is it public which variation the utility
5 actually uses, and so we know that if there's a
6 high and low scenario or a sensitivity, that in
7 that procurement or in that long-term plan, they
8 will have chosen one or the other?

9 MR. VIDAVER: Yes.

10 ASSOCIATE MEMBER PFANNENSTIEL: So all
11 of that is --

12 MR. VIDAVER: Stakeholders, many of
13 these decisions are mainly discussed in working
14 groups. For example, the issue of load forecast
15 standardization. The working group that was
16 established three months ago said load forecast,
17 CEC load forecast and done.

18 ASSOCIATE MEMBER PFANNENSTIEL: Right.

19 MR. VIDAVER: Taking that out to
20 stakeholders in the form of a report which was
21 issued, I believe, in May said we're going to use
22 the CEC load forecast. We've made this decision
23 because we didn't think it was really a
24 contentious issue. Let us know if you have a
25 problem with it.

1 Which scenarios to model? There are
2 parties who want really detailed specific
3 scenarios that shed light on issues that they or
4 their constituents are really concerned about.

5 So, the scenarios working group is not
6 even going to meet until stakeholders submit
7 comment on which scenarios are going to be
8 developed. So all that is public information.

9 ASSOCIATE MEMBER PFANNENSTIEL: So
10 there's a lot of public scrutiny of the input
11 assumptions, but then the alternate process is
12 really up to the utilities, the PRGs and the PUC?

13 MR. VIDAVER: The PRGs are not really
14 involved in the ten-year procurement plans. The
15 PRGs, I'm speaking from memory, have enough to
16 keep them busy, especially in 2010. There will be
17 so much precise direction given to the utilities
18 that occasionally they may ask the PRG or the
19 energy division as to whether or not certain way
20 of presenting that information is sufficient.

21 ASSOCIATE MEMBER PFANNENSTIEL: So the
22 PRGs, and this is just a confusion on my part,
23 having been one of them, don't look at the
24 procurement in the context of the long-term
25 planning?

1 MR. VIDAVER: No.

2 ASSOCIATE MEMBER PFANNENSTIEL: Oh,
3 they're independent. I thought that the long-term
4 plan would guide the PRGs work. Not so.

5 MR. VIDAVER: Well, the long-term plan
6 is designed to provide an authorization for the
7 utilities. You can go out, and we've looked at
8 your plan, we've approved it with substantial
9 modification and a little berating, but you can go
10 out and you can get 500 megawatts of baseload
11 capacity starting in 2012 and 150 megawatts of
12 peaking capacity in each of 2009 through 2014. At
13 least 400 of this has to be new generation. And
14 it should also be located in the L.A. Basin.
15 That's what the procurement plan comes up with, or
16 when the plan is approved.

17 Authorization to procure those amounts
18 are given. The utility then has an RFO where it
19 goes to the PRG and says, here's the description
20 of what we're going to provide bidders and what
21 we're authorized to procure.

22 The bids come in. Here are the bids.
23 Here is how we evaluate them. We proposed that we
24 sign the following contracts. And the PRG, either
25 makes recommendations about additional contracts

1 that the utility should consider. Contracts that
2 the individuals and the PRG have problems with.

3 The PRG is a form in which all the
4 parties that participate get more information
5 about the set of alternatives available to the
6 utility, and to get it before, usually months
7 before, the utility actually makes its final
8 proposal.

9 And gives a heads-up if a particular
10 party says sorry, we're going to litigate that,
11 the utility takes that into account. And may
12 either withdraw the proposal to enter into the
13 contract, or say, see you in court.

14 ASSOCIATE MEMBER PFANNENSTIEL: Thanks.

15 MR. VIDAVER: Thank you.

16 PRESIDING MEMBER BYRON: David, I think
17 we could go on asking a lot more questions. I
18 think in the interests of time we'll let you off
19 the hook for awhile.

20 Does anyone else have some questions for
21 Mr. Vidaver? Please, come forward. And if you'd
22 be so kind to identify yourself.

23 MR. BAKER: This is Simon Baker from the
24 CPUC Energy Division. And actually I'd like to
25 make some comments, if I could, if this is the

1 proper time to do so.

2 The 2007 IEPR recommendations were very
3 much aligned with the CPUC's 2006 LTPP decision
4 07-12052. And the language in that decision
5 calling for greater standardization of resource
6 planning assumptions and a move towards a more
7 rigorous planning process in general.

8 We're very grateful for the CEC Staff
9 and its participation as a collaborator in the
10 2008 LTPP proceeding, which has taken up those
11 recommendations in earnest. And is in the middle
12 of a thorough stakeholder process to develop a
13 decision acting on those recommendations.

14 CEC Staff has been very valuable in our
15 process in championing the CEC's vision, I
16 believe, in the 2007 IEPR; in clarifying some of
17 these very complex issues; and in bringing a level
18 of expertise, which is, I believe, second to none,
19 in planning and procurement and analysis in those
20 areas.

21 What we have before us in the 2008 LTPP
22 proceeding is potentially infinite scope.

23 Resource planning is inherently complex and
24 difficult. You're making multi-billion-dollar
25 investment decisions looking out 10, 20, even

1 longer years. Assets that last 30 years or more.

2 And particularly today, when we have the
3 challenges of AB-32 and renewable energy goals
4 like 33 percent. The number of different
5 scenarios or sensitivities that you could
6 potentially run in a planning analysis are truly
7 infinite. And the number of different techniques
8 that you could use to develop meaningful results
9 and present the information to decisionmakers in a
10 discrete, understandable, meaningful way is
11 something that walks the line between art and
12 science.

13 As I said, the 2006 LTPP decision
14 recognized that there was a gap in the level of
15 rigor and standardization that needed to be
16 closed. And in looking at the work before us, the
17 Energy Division is recognizing that it may take a
18 couple planning cycles for us to really get to a
19 place with planning standards that we think is
20 cutting edge and representative of the best
21 planning practices in the industry.

22 As an example, the first thing that we
23 tackled in some of the working groups that Mr.
24 Vidaver mentioned was simply just getting the
25 three utilities to utilize the same table format

1 in representing their loads and resources to
2 determine the net -- calculation.

3 It seems like a very mundane thing, but
4 those are the baby steps that we're starting with
5 here.

6 So, recognizing that some of these
7 planning standards and techniques may occur for
8 application in the 2010 plans, and others, which
9 may take more time to develop, may require more
10 software, modeling capabilities. May require
11 scale-up in staffing at the utilities to be able
12 to do these types of sophisticated analyses. Some
13 of those techniques may end up as recommendations
14 for the 2012 planning cycle.

15 So, Mr. Vidaver did an excellent job of
16 summarizing the status to date in the 2008 LTPP
17 proceeding. And I really wouldn't add anything.

18 He had the difficult task today of
19 peering into the crystal ball. Because, as I
20 said, this is an open and active proceeding and no
21 decisions have been made yet. And so he's really
22 trying to get that gestalt sense of where the
23 proceeding is going. But, as you know, things can
24 change before a final decision is reached.

25 I'll give a little bit of background on

1 the overall process that we're involved in in the
2 2008 LTPP proceeding. Dave mentioned that a
3 working group was established early on in the
4 process. That was the planning standards working
5 group.

6 And that was where joint staff me with
7 utility representatives to learn from the
8 utilities about their planning practices. And to
9 get a sense from them of what the scope of
10 standardization might be. And get a feel from
11 them about what assumptions and what-have-you are
12 appropriately standardized and what may not be.
13 What may be more trouble than it's worth.

14 That working group culminated in a pre-
15 workshop report. And parties had the opportunity
16 to review and comment on that at a workshop in
17 May, May 21st.

18 At that point, we took a hiatus and
19 brought on a technical support consultant, a
20 consulting team, Aspen and E3. And they were
21 brought on at the end of June.

22 Now, they're playing an important role
23 in this proceeding, because, as I mentioned, this
24 is a highly technical and complex area. And
25 they're bringing that expertise.

1 So what they're producing for us is
2 really two deliverables that are germane. The
3 first is they're doing a best practices review of
4 industry planning practices. And they'll be
5 producing that as a consultant's report on
6 resource planning best practices.

7 So that's really going to be casting the
8 wide net of all of the different approaches and
9 analytical techniques that are taking place out
10 there in the industry, so that Energy Division and
11 the CEC Staff and parties can learn and try to
12 understand better which of those tools are
13 appropriate in the California context.

14 We've also established working groups to
15 assist the consultants in developing their second
16 deliverable, which is going to be a consultant's
17 straw proposal on resource planning standards.

18 So the role of the working groups is
19 really to inform the consultants' straw proposal.
20 And that straw proposal will be served on the
21 service list and a workshop will be held. And
22 parties will again have the opportunity to provide
23 their input on that straw proposal, which will
24 then inform a staff proposal on this same topic,
25 on resource planning standards.

1 When the staff proposal is filed into
2 the docket that will really initiate the
3 development of the formal record on planning
4 standards in 2008 LTPP proceeding. And there'll
5 be comments and reply; and then a PD and comments
6 and reply before final decision.

7 At this time also I'd like to just
8 announce that Energy Division plans to host a
9 workshop on August the 28th on scenarios and
10 metrics. And we have issued a data request to
11 parties for comments on really at a high level
12 what some of the guiding principles for developing
13 such standards should be in this process.

14 And also giving parties a chance to
15 submit specific lists of scenarios that are
16 developed to a very high level of detail, which
17 will then be discussed at this workshop.

18 The workshop, the purpose of it will be
19 to then kick off a working group which will
20 further develop this, leading into the
21 consultants' straw proposal, the staff proposal,
22 and then eventually a decision on planning
23 standards in the proceeding.

24 Finally Mr. Vidaver, I think, made the
25 appropriate statement with regard to the LTPP

1 proceedings direction, or not the direction, but
2 where we seem to be headed on the question of the
3 proper planning horizon for the LTPP proceeding.

4 No determinations have been made on this
5 issue, along with others. But really, just to
6 give you a sense of what we're grappling with,
7 because we have so many of these standards to put
8 in place, and we're really going to be developing
9 scenarios from the ground up. So it's a very
10 broad scope and we recognize we have a schedule we
11 need to maintain to be able to then feed into the
12 2010 LTPP proceeding.

13 So, as you push out to that 20-year
14 planning horizon, many comments from parties
15 indicate that you might use a different set of
16 tools, analytical tools to assess uncertainties in
17 that horizon.

18 And to the extent that those analyses
19 are somewhat distinct or separate from a look out
20 to 2020, we've been looking at key uncertainties
21 such as the effect of plug-in hybrids and
22 electrification of the transportation system, the
23 potential of emerging technologies like storage,
24 low wind speed technology, carbon capture and
25 sequestration, potential cost reductions in

1 renewables such as PV and wind, if ever grid
2 parity may occur.

3 Smart grid technologies. The potential
4 of reduced ability of large hydro due to climatic
5 change impacts. Competition from renewables from
6 other states.

7 Really, the nexus between energy use and
8 water use, pumping and so forth. What federal GHG
9 policies may look like. And also the effects of
10 once-through cooling on planning for reliability.

11 This is a very big scope. And frankly,
12 we're here to ask for your help at the CEC to help
13 us to do some of these important analyses that we
14 have on our radar screen. We recognize that
15 they're important, but we're also managing scope
16 of what we can do in the 2010 LTPP proceeding.

17 So, to the extent that the 2009 IEPR
18 takes some of these issues up and treats them in
19 an analysis that could be conducted in a
20 collaborative with our Commission and with the
21 IOUs, as they develop their own 2010 LTPPs, we see
22 that as a potentially fruitful collaboration to
23 address these issues in some fashion in the 2010
24 timeframe.

25 Thank you very much.

1 PRESIDING MEMBER BYRON: Mr. Baker,
2 thank you very much for being here, and for that
3 description about your process. You have your
4 process, we have our process, there seems to be no
5 shortage of that at state agencies.

6 But it's very helpful to me. I want to
7 understand schedule a little bit. To the extent
8 you can, -- well, first, let me just comment, too,
9 on the collaborative aspect of the work that the
10 two Commissions are doing on long-term
11 procurement.

12 I know that we've collaborated before on
13 various issues. And I think this is another
14 excellent example of how the state will benefit
15 from the coordination of your needs, the
16 requirements for controlling cost to consumers,
17 and implementing state energy policy.

18 You had mentioned some of the workshops
19 that are coming up and how this will all
20 eventually lead towards a final decision. Can you
21 give us a sense as to when that final decision
22 will be -- I don't want to hold you to a schedule,
23 I just want to get a sense, are we talking this
24 year, a year from now, et cetera.

25 MR. BAKER: Yeah, well, we appreciate

1 the need for flexibility on those types of --

2 PRESIDING MEMBER BYRON: And I'm not
3 sure you could speak for the Commission, but --

4 MR. BAKER: I can't speak for the
5 Commission, but as Energy Division has been
6 planning this out, we have been thinking about a
7 first quarter 2009 timeframe for a final decision
8 on planning standards.

9 And I should also note that that final
10 decision will be a decision on phase one issues in
11 R08-02007. And phase one issues are broader than
12 just this planning standards question.

13 For example, the Commission has
14 identified the need for looking at MRTU-related
15 procurement products and the need for developing
16 upfront standards of that to provide guidance to
17 the utilities as they develop their 2010 plans, as
18 well.

19 PRESIDING MEMBER BYRON: One other
20 question. You also gave reference to some
21 contract work that you're using for getting access
22 to expertise. I came across a report I was not
23 aware of that published just earlier this month.

24 And I bring it to your attention in the
25 event you haven't seen it. It's a NARUC report

1 that was funded by the Department of Energy. Are
2 you familiar with it? Competitive procurement of
3 retail electricity supply, recent trends in state
4 policies and utility practices.

5 MR. BAKER: Not familiar with it, but I
6 would appreciate the reference.

7 PRESIDING MEMBER BYRON: Absolutely. I
8 call it to your attention and I think it's easily
9 accessible on the web. And it's extremely good,
10 because it does a state-by-state kind of
11 comparison of various procurement processes.

12 I was really pleased to read that it
13 helps vindicate some of the recommendations in our
14 earlier IEPRs. I think it would be very helpful
15 to your proceeding. So I'm pretty sure our staff
16 is aware of it, is that correct, Mr Vidaver?

17 MR. VIDAVER: I can forward Mr. Baker an
18 electronic copy.

19 PRESIDING MEMBER BYRON: Okay. And so
20 I'll avoid asking questions about it since you're
21 not familiar with it. Any questions from my
22 fellow panel members?

23 ASSOCIATE MEMBER PFANNENSTIEL: None
24 from me.

25 PRESIDING MEMBER BYRON: Okay. I again

1 thank you for being here.

2 MR. BAKER: Thank you for the
3 opportunity to comment.

4 PRESIDING MEMBER BYRON: That was
5 supposed to be just a question, I think, for Mr.
6 Vidaver. And in the interest of time I'm going to
7 ask that we move forward, correct? We have
8 another agenda item, Ms. Korosec?

9 MS. KOROSEC: Yes, we'll be hearing from
10 Mr. Ringer to discuss social discount rates.

11 MR. RINGER: Well, good morning; it's a
12 good sign that it's still morning, I wasn't sure
13 whether it was going to be good morning or good
14 afternoon.

15 I'm going to speak about social discount
16 rates. The 2007 IEPR talked about the California
17 IOU long-term procurement plans excessively
18 discounting future fuel costs by using too high of
19 a discount rate.

20 The effects of this would be to
21 understate the impact of those fuel costs upon
22 consumers, increasing dependence on gas-fired
23 generation as a result. And by excessively
24 discounting what it meant was using the utility
25 weighted average cost of capital. So always

1 taking into account the utility costs of capital
2 and using that as a discount rate.

3 The 2008 IEPR Update Committee scoping
4 order directed staff to identify consequences of
5 using a social discount rate. On the surface this
6 is fairly simple. A social discount rate, as we
7 will see, is typically lower than the utility
8 weighted average cost of capital. And by using a
9 social discount rate instead of the utility cost
10 of capital, you effectively raise the cost of gas-
11 fired generation.

12 But as I said, on the surface this is
13 very simple. It turns out that there is a very
14 complex large body of work that was done over a
15 long period of time on discount rates. Much of it
16 is very esoteric, so what I endeavored to do was
17 put together sort of a simplified overview of a
18 discussion of discount rates.

19 And congratulations to those of you who
20 made it through my paper. If you think this is
21 dry, this is much moister than the original
22 sources that I looked at.

23 (Laughter.)

24 PRESIDING MEMBER BYRON: Moister meaning
25 it made us cry?

1 (Laughter.)

2 MR. RINGER: Hopefully not. Very quick
3 background. Interest rates was the time value of
4 money used to determine the future value of a
5 present sum. It's actually determined from
6 outside sources depending on how much you can earn
7 from different investments, whether it be banks,
8 bonds, commercial paper.

9 Discount rate is essentially the inverse
10 of that. You have a future sum and you want to
11 place a present value on that. The discount rate
12 to be used is up to the particular analyst doing
13 it, based on a number of different factors and
14 points of view.

15 And as I mentioned, higher discount
16 rates placed a greater value on the present
17 compared to the future. So a very high discount
18 rate essentially means that you're placing a low
19 value on the future. Conversely, if you're using
20 a low discount rate, you are placing a higher
21 value on the future.

22 I thought it was instructive to look at
23 some different agencies, so I chose the Energy
24 Commission, the Public Utilities Commission and
25 the Office of Management and Budget.

1 The Office of Management and Budget
2 looked at discount rates a couple different times,
3 one in 1992, and again in 03, I believe.

4 In 1992 they determined that 7 percent
5 was the real cost of capital in the private
6 sector. When I say cost of capital, that's also
7 an opportunity cost, that's the amount of money
8 that you can earn on an investment. So they
9 looked at that.

10 The Energy Commission, for our appliance
11 efficiency regulations, did another study. And
12 they looked at the real after-tax cost of capital
13 based on a variety of different sources in the
14 private sector.

15 They looked at 30-year home loans,
16 \$10,000 home equity loan, 7- and 20-year home
17 loans, and then even a credit union VISA card.

18 So these, although I'm talking about
19 government agencies, and we do hear the term
20 social discount rate a lot, it's not necessary in
21 all cases for a government agency to look at a
22 social discount rate. And, in fact, these are
23 based on private cost of capital, so they are
24 private discount rates. But they do have their
25 place in government agency use.

1 The Public Utilities Commission did look
2 at discount rates, and they determined that they
3 were going to continue to use the IOU -- the
4 utility weighted average cost of capital rather
5 than social discount rates as applied to
6 transmission projects because they felt that they
7 could more easily compare transmission projects
8 and alternative investments through the use of a
9 single discount rate.

10 Now discount rates based on the cost of
11 government funds typically are lower than the
12 market risk rate because government can borrow
13 money more cheaply. And this is what we talk
14 about when we mention social discount rates, the
15 cost of government funds.

16 Governments are also more interested in
17 considering future generations' interest and not
18 discriminating against them. Higher discount
19 rates, as I mentioned, make future costs seem more
20 expensive, and therefore seemingly discounting the
21 interest of future generations too much, and
22 making things seem too cheap.

23 Social discount rates have traditionally
24 been used for long-lived or public goods projects.
25 Dams are a good example. Sometimes social

1 discount rates or lower discount rates are used as
2 a remedial measure to counteract market
3 externalities or inefficiencies.

4 And I think one of the good examples of
5 an efficiency there is through efficiency
6 measures. Private individuals typically require a
7 very very high payback, very short payback periods
8 for their investments in efficiency measures.
9 Much more so than people who are investing in
10 power plants.

11 Therefore, by using lower discount rates
12 to calculate the benefits and costs of energy
13 efficiency measures, we can make that more
14 conducive to people so that power plants don't
15 have to be built.

16 The Office of Management and Budget, as
17 I said, took another look at this, I think it was
18 in 2003. And in addition to the 7 percent
19 discount rate, they suggested that agencies also
20 use 3 percent discount rates.

21 The 7 percent was based on when
22 regulation displaces or alters the use of capital
23 in the private sector. Whereas, the 3 percent is
24 when a regulation affects private consumption. So
25 that's the difference there.

1 Now, in the 2004 IEPR update the Energy
2 Commission recommended using a social discount
3 rate when evaluating transmission investments
4 because the Energy Commission determined that
5 transmission is a public good. The benefits can't
6 be divided among certain individuals, and
7 therefore it behooves the use of a social discount
8 rate.

9 When you look at the literature that I
10 referred to there's quite a bit written, it
11 becomes very confusing very quickly because you
12 come to the realization that a lot of people want
13 to use different discount rates for different risk
14 and a lot of people don't.

15 So there's two basic views. Discount
16 rates should not be affected by the uncertain or
17 risky nature of future cash flows, or that they
18 should be adjusted for risk to reflect the
19 uncertainty of the cash flows so that the high
20 risk returns are discounted more, and the high
21 risk costs are discounted less.

22 Now it turns out that a pretty good way
23 to look at this is to see whether or not there's a
24 difference in finance theory or decision analysis.
25 This was based upon some writings by the Electric

1 Power Research Institute in the mid 80s where they
2 took a look at these questions. And it framed the
3 idea pretty well in my mind as to what the
4 arguments were pro and con of adjusting discount
5 rates for risk.

6 EPRI discussed finance theory and
7 decision analysis and made some observations.
8 Finance theory pretty much takes the perspective
9 of a private investor, how much risk is a private
10 investor willing to take and how much do they want
11 to be compensated for that risk.

12 We all know that the riskier an
13 investment in general, the higher rate of return
14 you would expect from that investment. So finance
15 theory tends to look at project-by-project
16 comparisons from the investor's point of view;
17 considering the market value of those investments,
18 and applying a risk-adjusted discount rate to a
19 single expected cash flow. This is fairly
20 important.

21 So, if you're comparing one project to
22 another, and you have different cash flows
23 associated with each project, if one project is
24 riskier than another then it would make sense to
25 use different discount rates because the market

1 would value those differently.

2 Decision analysis, on the other hand,
3 uses the perspective of a decisionmaker. And this
4 can include much more varied and different types
5 of risks than just an investor can consider.

6 And in decision analysis what you would
7 do is apply an unadjusted discount rate, a risk-
8 free rate, to many many different cash flow
9 scenarios. And each of those cash flow scenarios
10 have their own probabilities associated with
11 them. So, in this manner you would take
12 into account uncertainty in that regard.

13 Going now to some different views on
14 discount rates, one of the people who've had a
15 great deal of writing on this is Shimon Auerbach.
16 And he's firming in the camp that you take a look
17 at the particular expense in question and discount
18 it according to its perceived risk.

19 So, in his view, a risky fuel expenses,
20 such as natural gas, would be discounted using the
21 market view of that risk. And since it's a cost,
22 and since it's a risky cost, we would discount
23 that at a much lower level than is typically being
24 done.

25 In his view these are being discounted

1 at too high levels, and making them seem
2 inexpensive in comparison to other costs. So
3 these should then be discounted at lower rates in
4 accordance with the capital market theory. And as
5 I said, he's done a lot of writing on this.

6 And also I alluded to the Electric Power
7 Research Institute also looked at this. They
8 believe that the relevant cost of capital is
9 specific to the project, not the corporation.

10 The problem from both Auerbach's and
11 EPRI's point of view is that the weighted average
12 cost of capital is the cost to the entire
13 corporation, including both debt and equity,
14 that's an average cost of capital to the
15 corporation that may not be specifically
16 applicable to any specific project in their
17 portfolio, and it certainly may not be applicable
18 to a proposed project that isn't in the portfolio
19 at all.

20 Other views on discount rates. We have
21 a response in the last IEPR, some comments that
22 were posted, of C.K. Woo. He's firmly in the camp
23 that uncertainty drives a portfolio's cost risk.
24 And if you were to internalize all the
25 uncertainties with different discount rates, the

1 resulting portfolio, itself, would not have any
2 variance whatsoever.

3 So he says that the presence of
4 uncertainty dos not change the decisionmaker's use
5 of a discount rate. And that's where we get into
6 risk aversion.

7 If you have a couple of different
8 expected costs, say you expect one cost has a
9 probability of occurring 60 percent and another
10 cost at 40 percent, it may have the same expected
11 cost as a certain cost, say \$100.

12 So if somebody told you you were going
13 to receive \$100 in the future and it was a sure
14 thing, you would discount that at your own
15 discount rate. But if they said that you had a
16 higher cost, a higher percentage change of getting
17 some higher amount, and a lower percentage chance
18 of getting some lower amount that averaged out to
19 the same \$100, if you were risk neutral you
20 wouldn't care because the expected value would be
21 \$100.

22 But, if for some reason you needed a
23 certain amount of money or if a certain one of
24 those values you didn't want to accept it, then
25 you would not be risk neutral and you may or may

1 not value that portfolio at the same amount as its
2 expected value. Especially if one of those
3 probabilities turned out to contain a negative
4 amount.

5 So in that case what that's called is a
6 certainty equivalent. So, in other words, how
7 much would you take in a certain amount to forego
8 the entire process and just accept that amount of
9 money. So that's what's called certainty
10 equivalence.

11 I may have gotten ahead of myself a
12 little bit, but Woo says that risk adjusting
13 discount rates defeats the purpose of portfolio
14 analysis.

15 Stokey and Zeckhauser, some other
16 writers, pretty much agree with that. And they
17 say the correct analytical approach is to separate
18 the question of risk-free discount rates from how
19 we value risky outcomes. And that's what I was
20 referring to when I mentioned certainty
21 equivalence.

22 That's a very difficult thing to do, is
23 to figure out how much something is worth to
24 somebody as a certainty equivalent. But
25 conceptually that's the way to go in the minds of

1 a lot of people.

2 Other writers also point to some
3 analytical difficulties with adjusting discount
4 rates. Everett Schwab say that risk-adjusted
5 rates are not a linear function of risk. They
6 don't believe that there is a linear relationship
7 between risk and discounting. They don't believe
8 that variance and cash flows alone is an adequate
9 measure of risk, which also depends on expected
10 value.

11 Pearce and Turner, they say that risk
12 does not seem to be related to time in such a way
13 that the scale of risk obeys an exponential
14 function, this is implied in the use of a single
15 rate in the discount factor.

16 When you discount something you're using
17 a certain percent per year over time. And so that
18 basically is an exponential value. So they're not
19 so sure that the value of money over time is
20 exponential in how you value the tradeoff from one
21 time period to the next.

22 Before I get into this slide, just for a
23 second, we have seen that there's a lot of
24 thinking that's been done on whether to adjust for
25 discount rates for risk or not.

1 My view is that those people who caution
2 against it, this caution seems to be based on the
3 idea that there are more appropriate ways to
4 include risk in our decisionmaking, rather than
5 just adjusting the discount rate.

6 You may want to look at how you value
7 risky outcomes through certain equivalents. You
8 might want to look at the specific probabilities
9 out there and identify those probabilities and
10 what they apply to.

11 And another way to go is through focused
12 policy analysis.

13 So nobody is saying not to -- excuse
14 this use of the word discount, but not to overly
15 discount future generations' interest, but not to
16 actually do that through the use of discount
17 rates.

18 So, as I said, the actual nuts and bolts
19 of applying social discount rates to a stream of
20 numbers is pretty simple. And what I will do here
21 is now given an idea of how it actually applies
22 using theoretical combined cycle power plant.

23 So what we have here is kind of two sets
24 of columns. One is present value and one is
25 levelized cost. Discounting is important to both

1 present value and levelized calculations. And
2 both calculations are important to look at.

3 Our own Energy Commission cost of
4 generation model does use levelized costs. And
5 what a levelized cost is, is a present value times
6 another factor. Present value is where you're
7 taking future cost streams, and present-worthing
8 them, and adding them all up so you get a single
9 sum.

10 So in other words if you had ten
11 different costs occurring each year for the next
12 ten years you present value all those, add them up
13 and you get a present value factor.

14 Well, when you're looking at a power
15 plant and trying to compare it to another type of
16 power plant, you also have capital costs to
17 consider. So, to allow us to add in the capital
18 costs, which has been -- capital costs are spent
19 over the past few years, for example. So, if we
20 have a power plant in the ground that we've just
21 constructed, we've had about five or six --
22 anywhere from two to five years of expenditures.

23 That does have a present value, but then
24 also we want to see how that makes a difference to
25 the people who are going to be paying for it in

1 the future. So we have to spread that out sort of
2 like a homeowner's mortgage, out to 20 or 30 years
3 in the future. And the process of doing that is
4 called levelizing.

5 So, levelizing does include another
6 factor that's applied to the present value to
7 spread that cost over time.

8 So what we have here is only changing
9 the discount rates as it applies to the fuel costs
10 only of a natural gas plant. So in the left-hand
11 column we have the fuel price escalation rate,
12 ranging from 1 to 6 percent per year. And for
13 those of you who are used to looking at such
14 things, 6 percent a year is getting up there
15 pretty well. That's doubling fuel costs about
16 every ten years or so.

17 So we're looking at a 5 percent discount
18 rate and a 10.65 percent discount rate, both for
19 the present value and the levelized cost.

20 These discount rates are pretty much
21 comparable to the 3 and 7 percent real that we
22 have been talking about, because they can be
23 construed to include inflation. And the 5 percent
24 discount rate would be about 3 percent less
25 inflation. the 10.65 is actually pretty close to

1 the California independent utility weighted
2 average cost of capital. So it makes a convenient
3 comparison.

4 So, looking at just the present value,
5 the 5 percent, 10 percent discount rates, going
6 across, let's choose 3 percent price escalation,
7 for example. At 3 percent you have \$1028 present
8 value compared to 641 at the two different
9 discount rates. That's a 60 percent difference.

10 If you go over to the levelized cost
11 portion you see that, now these are going to be
12 annual payments, there's only an 82 versus \$78
13 difference, which is only 5 percent compared to
14 the 60. That's because of the other factor I was
15 talking about, called the capital recovery factor.

16 When you multiply a present value times
17 capital recovery you get the levelized cost. The
18 present value increase as the discount rate
19 increases. The present value decreases as the
20 discount rate increases.

21 But the capital recovery factor is
22 different. The capital recovery factor increases
23 as the discount rate increases, so it sort of
24 tends to moderate this percentage difference a
25 little bit. And that's why these numbers are

1 different.

2 When I looked at them I was sort of
3 startled at the differences. Again, I think
4 everything depends on your perspective. Levelized
5 costs is a very very popular measure to use. And
6 therefore, I thought it important to include this.
7 And, again, this is fuel costs only.

8 And if we compared the total costs of a
9 combined cycle power plant we have additional
10 columns in here, everything else is pretty much
11 the same conceptually, this is what I was talking
12 about. We have nonfuel costs, which are, in this
13 instance, just the capital costs. So in the
14 second column you can see the present value is
15 going to be \$349, whereas levelized it goes down
16 to \$42.87, which is again equivalent to a
17 homeowner's mortgage. So then you add that into
18 the fuel costs and you get slightly different
19 percentage differences.

20 And in the last case, because the
21 capital costs remain constant, therefore it tends
22 to add further moderation to the differences. So
23 that before you can see that the differences
24 ranged between 55 and 69 and 2 and 10, the
25 percentage difference column, now the percentage

1 difference goes from 34 to 48. And then in the
2 levelized, only from 1 to 7 percent difference.

3 Sort of another way to look at this,
4 probably is even more confusing, but hopefully
5 not. It shows that as you change input
6 assumptions, and this is to show that the relative
7 difference change in the discount rate --
8 everything else. So the black line with the
9 squares is the discount rate.

10 So, going across on the bottom as you
11 change the discount rate from zero percent to 10
12 percent higher, then 20 percent higher, to 30
13 percent higher, you can see, looking at the
14 vertical axis, that the change in levelized cost
15 doesn't matter too much.

16 If you look at fuel price, as an
17 alternative example, if the fuel price, sort of
18 starting in the middle of the graph, changes from
19 zero to 50 percent that has a 40 percent change in
20 the levelized cost.

21 So what this shows is fuel price is
22 really important. The installed cost is pretty
23 important. And the capacity factor is fairly
24 important in the overall cost of electricity from
25 a particular type of generating source, in this

1 case combined cycle.

2 Again, there's different ways to look at
3 this, or to look at things in general. If you key
4 in on present worth then that becomes much more
5 important; levelized costs becomes a little bit
6 less so. And when you question the change in
7 assumptions of many other different factors, then
8 that shows you that those are, indeed, very
9 important as well.

10 So, we see that there's a lot of
11 different ways to look at this. The Energy
12 Commission knew that this was going to be
13 extremely important in long-term planning. And in
14 the last IEPR made long-term planning a focus, and
15 suggested that we would want to try to get the
16 Public Utilities Commission to also look at this.
17 And we've heard this morning that this is, indeed,
18 in process.

19 So, to help us further understand where
20 to go from here, I've included five questions,
21 both in these slides and in the report that I
22 prepared that is online. And we can discuss --
23 I'll go over these questions a little bit now, so
24 I'm sure that we could entertain some response to
25 these questions today. Also there will be an

1 opportunity after the workshop to provide post-
2 workshop comments. And we'd certainly welcome
3 people's thoughts on these questions now or during
4 the comments.

5 So to start off with the questions, if
6 the utilities are required to meet an RPS
7 standard, do we still need to talk about risk-
8 adjusting discount rates for natural gas costs?

9 This question arises from my observation
10 before that discount rates can be looked at either
11 project-by-project, or in planning, overall
12 planning. So, the question here is -- and I noted
13 before, too, that discount rates, you might want
14 to adjust discount rates to take into account
15 market inefficiencies or externalities.

16 So, if, indeed, the RPS standard is
17 based in part upon the perception that fuel costs
18 were getting too high, and people deemed it
19 appropriate to require the utilities to meet a
20 certain standard, does that or does that not take
21 the place of adjusting a discount rat for the same
22 purpose.

23 So when you're evaluating portfolio
24 costs would you also want to look at adjusting
25 discount rates. If the RPS has been put in place

1 to mitigate fuel costs. What if it's been
2 implemented for reasons other than fuel costs.
3 What if RPS is mostly for carbon risk. What does
4 that mean.

5 If the RPS does not represent a binding
6 constraint, in other words if the utilities can go
7 as high as they wish, does that also have an
8 implication on whether or not you would use fuel
9 risk as a reason to adjust discount rates.

10 And I guess what I would do is just go
11 through these, unless anybody has a comment as I'm
12 going through, or we can come back to them
13 individually.

14 If utility long-term procurement plans
15 do use a very wide range of natural gas prices and
16 uncertainties, would this take the place of using
17 risk-adjusted discount rates, or would we still
18 want to use those somehow.

19 What about when the long-term plan is
20 done and you receive bids in response to an RFO.
21 As I mentioned, it might be possible to use
22 discount rates or it might be preferable to use
23 risk-adjustment of discount rates when you're
24 using project-by-project head-to-head comparisons.

25 So when you get project bids in, would

1 this be the appropriate time to use discount rates
2 that have been adjusted for risk. If not, are
3 there are other adjustments to risk that can or
4 should be used.

5 One thing that I didn't talk about too
6 much, when they talk about risk-adjusting cost
7 streams, there's many different cost streams
8 associated with the projects. There's not only
9 fuel costs, there's future O&M costs, there's
10 capital costs, there's other sorts of risks that
11 are inherent in project development.

12 If we do determine that in some case
13 that's desirable to use risk-adjusted discount
14 rates for fuel costs, are there other types of
15 risky costs that we should then consider using
16 risk adjustment for. Or should we just keep it to
17 fuel costs only.

18 And last, if it's appropriate for
19 valuing natural gas costs, should the discount
20 rate be based on a social discount rate or some
21 other measure, or how should that rate be derived,
22 whether it be social or anything else.

23 I believe that's it. So I'll turn this
24 now over to Commissioner Byron and entertain any
25 questions you might have at this time for me.

1 PRESIDING MEMBER BYRON: I don't have
2 any specific questions. It's a lot of material
3 here. I think I'd like to reiterate something
4 that you said in your paper, as well, for the
5 benefit of everyone, Mr. Ringer.

6 And that is that we identified in the 07
7 IEPR that we're going to make some development of
8 a common portfolio analytical methodology a core
9 focus of the 08 IEPR. And with the clear
10 objective of influencing the long-term procurement
11 plans filed by the IOUs with the CPUC in December
12 of 08. And I just bring that to light, as well,
13 so that everyone understands where we're getting
14 with this.

15 I like your questions, and perhaps we'll
16 have opportunity to get into some further
17 discussion with some of the investor-owned
18 utilities who are present here, as well, with
19 regard to some of them.

20 But, again, I just wanted to reiterate
21 the importance of this work with regard to where
22 we're headed in the 08 IEPR and the
23 recommendations we plan to make.

24 I'll turn to my fellow Commissioners.
25 Any questions, Commissioners?

1 ASSOCIATE MEMBER PFANNENSTIEL: You
2 know, the questions of -- Mike, and I appreciate
3 your laying this out like this. I think it would
4 be really more useful to get into the comments
5 from the other parties. I think from the
6 utilities and others who have different points of
7 view, or maybe would reinforce what Mike is
8 saying.

9 I think that would help to frame the
10 questions that I think we need to get into.

11 PRESIDING MEMBER BYRON: Agreed. So,
12 Ms. Korosec, how are we going to do that?

13 MS. KOROSEC: Well, given the time I
14 would suggest that now's the time -- a good
15 breaking point for lunch. We do have a
16 presentation from Mr. Marcus of TURN that he
17 wishes to do. And then we can get into the public
18 comments after that.

19 So I would suggest we break and come
20 back at 1:15.

21 PRESIDING MEMBER BYRON: Okay, let's do
22 that. You know, I'm still upset that they haven't
23 changed this clock back three minutes. So I'm
24 going to say 1;10 by this clock, and that'll make
25 us about 1:15.

1 Thank you all very much. We'll see you
2 at 1:10 by the Energy Commission's clock.

3 (Whereupon, at 11:55 a.m., the workshop
4 was adjourned, to reconvene at 1:15
5 p.m., this same day.

6 --o0o--

1 AFTERNOON SESSION

2 1:16 p.m.

3 MS. KOROSK: We'll start the afternoon
4 here, and we're going to begin with a presentation
5 by William Marcus from TURN on social discount
6 rates.

7 PRESIDING MEMBER BYRON: Mr. Marcus,
8 before you begin, go right ahead. I'm sorry about
9 the ambiguity around the clocks. Mr. Tutt pointed
10 out to me, we'll go by that one up there. I like
11 the time on that one better.

12 MR. MARCUS: Good afternoon,
13 Commissioners. I'm Bill Marcus. I represent The
14 Utility Reform Network. We haven't been at the
15 Energy Commission very long, so I'm going to go
16 through -- I put up a couple of slides that I
17 might not otherwise put up. I'll put up a witness
18 qualification slide. Been around for 30 years;
19 have done quite a bit of work; have been at the
20 Energy Commission actually my first job in
21 California.

22 And relevant to this particular
23 assignment I actually, 35 years ago, thought an
24 awful lot about this topic because I was trying to
25 teach public policy students how to do it right.

1 We do have one prior presentation which
2 we're asking you to incorporate into the record.
3 We've got copies for folks, for the Commissioners
4 and Advisors, and for the court reporter. I've
5 also got a computerized copy available for staff,
6 and put a few outside on the table. This is our
7 testimony in the last Palo Verde-Devers case.

8 Turning to the substance, basically the
9 argument that people have made in supporting the
10 use of social discount rates in various purposes
11 are that the private sector does not give adequate
12 weight to the future relevant to the present when
13 trying to take the public interest into account or
14 looking at things like public goods.

15 And a second corollary that certainly
16 was being taught 35 years ago when I was teaching
17 it is that this argument is particularly important
18 for irreversible impacts. You care more about the
19 future when you're changing it in a way that can't
20 be undone.

21 And the argument against the social
22 discount rate are that it is less than the cost of
23 capital in the private sector. Which means if you
24 pick projects that only pencil against the social
25 discount rate, you may crowd out other projects

1 with higher benefits, other infrastructure or
2 private sector projects with higher benefits.
3 National income will be lower and society will be
4 worse off.

5 Another thing I would add on this slide
6 is there's an issue of transparency. Essentially
7 you can get results that are driven by discount
8 rates. And it's not clear how the discount rate
9 or other assumptions affect it. I'd rather be a
10 little more transparent rather than changing
11 discount rates when doing this kind of analysis.
12 And I'll give you a little bit of extremely bad
13 poetry which was called, on the evaluation of
14 water projects, from several years ago.

15 At 3 percent the case is clear; at 4
16 percent some doubts appear. At 5 percent it's
17 losing strength; and at 6 percent it's certain
18 death.

19 So, the choice of discount rates really
20 does affect your choice between the past and the
21 future.

22 When you look at the utility sector, we
23 have a situation where the social discount rate is
24 less than the cost of raising debt and equity
25 capital either by a utility or possibly even more

1 so by a private sector merchant firm building a
2 project like a power plant or a transmission line.

3 It's also less than the rate of return
4 that users of the utility system must pay when the
5 utility builds something or when they're paying
6 through a power purchase agreement for a private
7 sector project.

8 This means that ratepayers are likely to
9 prefer lower rates to building a project that
10 barely passes the cost effectiveness test with a
11 social discount rate.

12 And the effects can be fairly large. I
13 mean I'll go back to table 2 on page 11 of Mr.
14 Ringer's presentation. Not going to try to get
15 you to turn the whole thing up, but I will tell
16 you that even with 1 percent real escalation in
17 fuel the cost of a combined cycle power plant is
18 34 percent higher net present value. The
19 levelized cost isn't much different, but it's 34
20 percent higher net present value, with a 5 percent
21 discount rate than with a 10.65 percent discount
22 rate.

23 If you use the social discount rate that
24 is telling you implicitly go out and spend 35
25 percent more on a nongas resource than on a gas

1 resource. Now you may or may not want to do that,
2 but you don't want your discount rate to drive a
3 decision like that. You want to think about it
4 carefully rather than sort of have getting backed
5 into it by your discount rate.

6 Turning briefly to what you might
7 actually want to use a social discount rate, it
8 may be theoretically better for a case where a
9 decision is irreversible. And this Commission has
10 used something like a social discount rate for
11 building and appliance standards.

12 And, you know, fairly hard money on
13 discount rates, that's probably the best place to
14 think about using it. Because you get lost
15 opportunities in conservation if the standards
16 don't look at the future.

17 But then when you're trying to look at
18 sort of an ordinary project to build a power plant
19 or a transmission line, it doesn't generally fit
20 this definition. I mean I've come up with an
21 example that there could be some irreversible
22 effects of building a transmission line, but there
23 are irreversible effects on environmental costs in
24 this case.

25 You generally have the option to do a

1 project now or do it later. And that's the type
2 of analysis that should be done in these types of
3 plans that the Energy Commission is doing.

4 If a power plant turns out not to be
5 economic, for example, if gas prices go up, you
6 can make a decision to turn it off or run it quite
7 a bit less. And there's an economic penalty for
8 having built it if you run it less. But it isn't,
9 you're not doing some creating a problem where
10 it's physically impossible to change something, or
11 it's economically prohibitive to change something,
12 to change your mind.

13 I mean if you don't put that insulation
14 in that wall on your building standards, you're
15 never going to be able to go back and put more in
16 there, because it's economically prohibitive. You
17 know, most of your decisions in power planning are
18 not like that.

19 Now we turn to the topic at hand, which
20 is if you try to discount different elements with
21 different discount rates. And the example that
22 jumped into my head is what are you doing if
23 you're trying to compare gas with nuclear power.

24 Gas has its own set of risks. Nuclear
25 power, we don't know what it costs. I mean at the

1 moment I've been seeing estimates of cost anywhere
2 from \$4000 to \$8000 per kW for projects built in
3 the mid-teens. And we also have other operational
4 risks such as capacity factors in the future.

5 So, if you give gas a social discount
6 rate and do the types of calculations we were just
7 talking about, all of a sudden you can spend 39
8 percent more, or 34 percent more on that nuclear
9 power plant.

10 But the nuclear power plant carries with
11 it a whole set of its own risks, but they're all
12 capital related and fairly early in the project
13 life. They don't fit with the discount rate
14 analogy.

15 If you put a higher discount rate on the
16 nuclear power plant because it's risky, you end up
17 actually making it look better. If you put a
18 lower discount rate on the nuclear power plant to
19 make it comparable to gas, the level of risk
20 doesn't get borne out particularly well because
21 most of the risks are going to be done by the time
22 you finish building it in say ten years.

23 So, it creates a set of fairly difficult
24 and thorny problems for the evaluator, which is
25 why I come to my second point. Which is run

1 scenarios to cover relevant risks. And I think
2 your staff in the first presentation this morning
3 has shown that that's really what the next IEPR is
4 going to be about. And I think it's a good thing
5 to sort of start looking at scenarios, start
6 looking at the strengths and weaknesses of
7 particular projects or plans or portfolios under
8 different futures.

9 I also think the policymakers are smart
10 enough that they're not going to get tangled up in
11 the iron wall of the written number on computer
12 paper so it must be right, and can pick a plan or
13 a project that may be more expensive than the
14 least-cost under the expected scenario if it has
15 other attributes that are valuable. Such as
16 saving money if the cost of gas goes up or certain
17 environmental attributes that you're looking for,
18 such as saving money if the cost of carbon offsets
19 goes up.

20 This next slide takes that into account
21 a little further and says if you're looking at
22 strategic benefits try to put as many values on
23 things as you can. You know, economists like
24 numbers, and you know, it's one of those things
25 where we have the law of professional technology.

1 If all you've got is a hammer, everything out
2 there starts looking like a nail.

3 So I would suggest you try to put values
4 on strategic benefits rather than using the
5 discount rate as a shortcut to analyze them. And
6 when you do that you'll find that some can be
7 calculated directly; they may be a little
8 uncertain such as air emissions values, but you
9 can take a run and calculate those.

10 Some of them are already internalized.
11 I mean we have legislation, we have an RPS and we
12 have legislation that says specifically build
13 transmission to make that RPS happen and make it
14 work.

15 Some of them may be small when you look
16 at the incremental value. We were talking about
17 insurance as a benefit of transmission. And, you
18 know, there may be an insurance benefit, but it's
19 going to be incremental to a number of things that
20 we've already done, such as 15 to 17 percent
21 reserve margins, demand response equal to 5
22 percent of demand, long-term contracting a year in
23 advance for 90 percent of your power, and utility-
24 owned generation provided on a cost-of-service
25 basis, which is a natural hedge.

1 So, there may be an insurance value to
2 building a transmission line to avoid market
3 power, but it's a small number.

4 And then finally, some of these benefits
5 or costs may be extremely uncertain over long
6 periods of time. If you look out 30 or 40 years
7 to try to figure out what's going on with gas
8 prices, or even more, something like the market
9 power mitigation of transmission, the whole
10 technological structure of the industry could
11 change at 30 or 40 years.

12 So, some of the numbers that we're
13 thinking of as risky may be not just risky, but
14 uncertain in all sorts of directions that none of
15 us have quantified.

16 If you do use a social discount rate,
17 make sure to do some sensitivity work at a utility
18 cost of capital so people can understand the
19 effects of the discount rate and what it's doing
20 to the analysis.

21 Second option -- this was developed by a
22 fellow named Dr. Stephen Marglin at Harvard in the
23 late 1960s -- is if you're using a social discount
24 rate, require the benefits to exceed the cost by a
25 significant amount. That way you can give more

1 weight to the future without crowding out as many
2 investments in the present that might be minimally
3 cost effective using a social discount rate.

4 You also, in this type of analysis, want
5 to look at paybacks. I mean I'll tell you, from
6 looking at some of the advanced metering
7 infrastructure cases of the utilities, that both
8 Edison's and San Diego's, on a net present value
9 basis using the utility discount rate, paid off
10 about 30 years from now and had benefit/cost
11 ratios of less than 1.1. Which the folks at TURN
12 found a little bit problematic. And this is with
13 all utility assumptions, not assumptions we were
14 using.

15 A quick slide on there may be an
16 unintended consequence out here if the social
17 discount rate starts getting pushed pretty hard.
18 And that is if you start using the social discount
19 rate for gas, you're going to not only get more
20 energy efficiency cost effective, but you're going
21 to make the existing energy efficiency more cost
22 effective.

23 And under the CPUC's current incentive
24 framework for energy efficiency utilities get a
25 percentage of net benefits. The net benefits go

1 up; we end up paying more per unit of
2 conservation, even for the same amount of
3 conservation. And, you know, we're concerned that
4 if people are not very careful with this, we could
5 end up with what TURN believes are utility
6 incentives for energy efficiency that are too
7 high, that end up being even higher, which I call
8 it money for nothing on this slide. So you've got
9 to be careful when integrating this between the
10 two Commissions.

11 So, in conclusion, we would recommend
12 that you do not use social discount rates when
13 evaluating generation and transmission projects or
14 evaluating natural gas because ratepayers have to
15 pay 9 percent to use capital on a nominal basis, 6
16 or 7 percent real, they also have to pay income
17 taxes and property taxes, which takes that cost of
18 capital close to 13 percent.

19 We like the scenario analysis that staff
20 has put forward better than trying to change the
21 discount rates to look at risk. And we just put a
22 couple comments on what the Commission's decision
23 was in Palo Verde-Devers 2 and what the Office of
24 Management and Budget had said that are both
25 consistent with a couple comments on the staff

1 presentation.

2 And with that, I thank you, and we'll
3 take some questions if people wish to ask them now
4 or later.

5 PRESIDING MEMBER BYRON: Go ahead.

6 ASSOCIATE MEMBER PFANNENSTIEL: I just
7 want to make sure I understand. So you're
8 obviously recommending that we don't adopt the
9 social discount rate as being too low and having
10 the consequences you described.

11 And I'm also getting the impression that
12 you really wouldn't rely much on discount rates,
13 high, low or otherwise. That there are a lot of
14 other ways of evaluating projects that you would
15 advise us to think about.

16 And so the discount rates are just
17 bookends in a scenario, or are they irrelevant for
18 policy deliberation anyway. How would you have us
19 think about them?

20 MR. MARCUS: I think you have to use a
21 discount rate of some sort, or maybe even more
22 than one of them if you choose to do that, to
23 compare the present and the future.

24 You can't avoid using it. But it's
25 basically a tool rather than, you know, rather

1 than -- you know, the determinative decision when
2 making energy policy is policy. It's
3 understanding what the numbers are on the page.
4 And I would prefer it if the numbers were with a
5 discount rate of 6 or 7 percent real.

6 But it's understanding the numbers on
7 the page, and recognizing that sometimes there are
8 considerations, both having to do with insurance
9 and having to do with the environment, which might
10 cause you to deviate from, you know, just going
11 strictly by the book to the least-cost set of
12 projects.

13 ASSOCIATE MEMBER PFANNENSTIEL: I don't
14 disagree with that at all, of course. It clearly
15 is just a tool. But we're really here on the
16 asking the question of whether -- and maybe the
17 question isn't is a social discount rate a correct
18 one, but rather is the existing utility discount
19 rate that they're using their cost of capital, in
20 that sense, is that too high.

21 And, you know, I guess I didn't hear
22 much guidance from you on that. You don't agree
23 that we should use something as low as a social
24 discount rate, and yet where do -- do you think
25 that the utility cost of capital as a discount

1 rate is, in fact, the correct one for us to use in
2 these circumstances?

3 MR. MARCUS: I would say for most
4 purposes it is a reasonable discount rate to use
5 for projects that are being bought and paid for by
6 utility ratepayers. Is what I would say.

7 I'd say I think it's reasonable. I've
8 seen some arguments for some higher numbers; I've
9 seen some arguments for some lower numbers. But I
10 know PG&E uses a variant that has an after-tax
11 bond rate that I've basically had arguments with
12 PG&E at the PUC about, that have been quite
13 inconclusive. Because both of us have won and
14 both of us have lost in different cases.

15 Edison uses a discount rate that's
16 actually higher than its current rate of return
17 because it says it really needs 12.75 percent
18 return on equity for new capital. I don't happen
19 to agree with that, either. That's too high.

20 But, you know, given that ratepayers are
21 paying these costs, I think that a discount rate
22 that's roughly proportional to the cost that they
23 end up paying is probably the best thing you could
24 do.

25 Now, it could be a lower discount rate

1 if the Public Utilities Commission would adopt my
2 recommendations and give the utilities a rate of
3 return that was single digits rather than starting
4 with 11.something percent. I wouldn't object to
5 the lower discount rate under those conditions.

6 I think the utility cost of capital is a
7 good metric because it's tied to what ratepayers
8 are paying.

9 ASSOCIATE MEMBER PFANNENSTIEL: Thank
10 you.

11 PRESIDING MEMBER BYRON: Well, thank you
12 very much.

13 MS. KOROSEC: All right, Commissioners,
14 shall we go ahead and move to the public comment
15 period? I believe you do have some blue cards in
16 front of you.

17 PRESIDING MEMBER BYRON: Yes. So, we'll
18 start with those, thank you, Ms. Korosec.

19 I'm taking them in the order that I was
20 provided them. Do we still have Mr. Lutz on the
21 phone?

22 (Pause.)

23 PRESIDING MEMBER BYRON: Reconnected?
24 Disconnected, thank you. I also have a card from
25 looks like Marsten Schultz from Clean Power on the

1 phone.

2 (Pause.)

3 MS. SPEAKER: Apparently he also
4 disconnected.

5 PRESIDING MEMBER BYRON: They don't have
6 our clock, I guess, access to our clock.

7 Fong Wan, VP Energy Procurement, PG&E.

8 MR. WAN: Good afternoon. My name is
9 Fong Wan. I oversee the energy procurement
10 function at PG&E. I'd like to share a few of our
11 thoughts, as well as clarify some of the questions
12 that was asked earlier today.

13 The first is that under the California
14 Public Utilities Commission we have two separate
15 processes. One is for the long-term plan and the
16 other one is for the request for offers in which
17 we enter into commercial transactions. They take
18 place in sequence with the long-term plan first.

19 That is where the utilities are granted
20 with the authority to procure X amount of
21 megawatts for new generation.

22 In terms of the long-term plan, it is
23 indeed a very challenging process. What we're
24 talking about is coming up with a demand side, as
25 well as resource side.

1 In terms of the demand side we have our
2 typical challenges of load forecasting, especially
3 with the peak load forecast. As you may recall in
4 the summer of 2006 we had some very hot weather;
5 even the summer of 2007 around Labor Day we had
6 some very unusual weather. And as well as this
7 past June we had some very unusual weather.

8 So we believe we're into uncharted
9 territories in terms of peak load forecast in
10 which none of us really have a good handle on if
11 we're to look at historical information.

12 But a even bigger challenge has to do on
13 the load side is who should the utilities plan
14 for. Right now in PG&E's service territory since
15 the recovery of the energy crisis there's only
16 been one merchant plant built, that's the Calpine
17 Metcalf power plant, without the utility's
18 involvement.

19 And while there's a lot of discussions
20 about reopening of DA, as well as community choice
21 aggregation, it remains to be seen who will plan
22 for those two groups of customers.

23 At the present time the CPUC has asked
24 the utilities to assume the planning
25 responsibility similar to the old days for all

1 customers. And if any customers were to depart
2 from PG&E, they would pay -- the departing
3 customers would pay for their share of the above
4 market costs if there is any associated with the
5 new generation.

6 In terms of the resources this is also
7 quite challenging because the CE, demand response,
8 renewables, distributed generation are really
9 assumptions for the utilities within this
10 proceeding. They're really not litigated within
11 this proceeding. They have their own proceedings.

12 But the inputs and assumptions to come
13 up with the resources are extremely important.
14 Because what happens is that the new generation,
15 the new needs fall out as a result of the
16 assumptions for CE, DR, DG and renewables.

17 In addition, the retired generation
18 aspect is also critical assumption. The PUC
19 decided to adopt an assumption of 600 megawatts of
20 retirement for each and every year until all the
21 old plants are retired. So as a result we end up
22 with a number such as 800 to 1200 megawatts.

23 So a lot of assumptions go in there. It
24 is done without the involvement of the PRG. It is
25 something that PG&E submit on its own. And there

1 are certain information that is confidential, as
2 discussed earlier. In general, there are plans
3 that are confidential such as utility's nuclear
4 fuel plant. How we plan to procure nuclear fuel
5 and how we plan to hopefully, one day, dispose of
6 it.

7 As well as the gas hedging plan. Gas
8 hedging plan is a hedging activity we do with Wall
9 Street firms for several years out, three to five
10 years. And this is where we clearly lay out at
11 what strike prices will we do our swaps, we do our
12 options. What time of the year. And what
13 amounts. So these are quite confidential.

14 And in terms of the prices, we actually
15 are only asking for protection on the first three-
16 year prices, as well as our net open position on
17 what time of the year, what hours or months will
18 we be purchasing.

19 So, in general, it's whatever is
20 commercially confidential will we ask for
21 protection.

22 We also talked a little bit about the
23 PRG. I would respectfully ask that the CEC
24 reconsider its decision to allow staff to
25 participate in the PRG. And from PG&E's

1 perspective, it's been a very successful process.
2 It's involved many parties, DRA, Energy Division,
3 TURN and many. It is nonbinding to any of the
4 participants. They simply get the information
5 from inside on the decisionmaking process.

6 And they also see tools that each of the
7 utilities use. They get an opportunity to compare
8 across utilities as another way to keep the
9 utilities honest with each other. As well as the
10 assumptions that we use. We also provide lots of
11 analysis to the PRG based on the PRG's request.
12 The PRG also has the benefit of independent
13 evaluator who can separately and in parallel run
14 analysis next to PG&E, as well as the other
15 utilities.

16 At the end of the day, PG&E takes into
17 consideration all the input from the PRG members,
18 but we make our decision. And all the PRG members
19 are free to challenge any of the decisions we do
20 make at the Public Utilities Commission.

21 We consider that to be very successful
22 process. For example, in the last long-term RFO
23 we held a total of 18 meetings. Some of those
24 meetings ran as long as half a day or even a full
25 day. We will take as long as necessary to make

1 sure everyone understand how we came down with our
2 selection process.

3 In terms of the evaluation criteria that
4 was discussed earlier, PG&E uses a number of
5 criterias. These are liability, which is a
6 developer's liability, whether the developer has
7 had any track record of developing power plants in
8 California. Or if the developer has a permit from
9 the CEC. Also economics.

10 By the way, we do -- that gentleman left
11 -- we do use the utility weighted average cost of
12 capital for discounting. We also consider
13 transmission status, the technology, itself;
14 environmental justice issues, as well as portfolio
15 fit.

16 And what we do is we receive 57 offers;
17 we ended up selecting seven. We go through a
18 process of evaluating each of the six or seven
19 categories I said earlier. What we show to the
20 PRG is projects in three colors: Red, yellow or
21 green. Green being the ones that we would like to
22 proceed with, and the red the ones we would like
23 to eliminate.

24 Most of the projects are pretty obvious
25 if they fall into the green or the red side. We

1 spend most of our time debating how to turn the
2 yellow into either green or red. And we go
3 through a process without an exact weighting for
4 each of the portfolio components I mentioned
5 earlier. It's very subjective. We discuss them
6 over and over until everyone's comfortable with
7 that process.

8 Looking back at our process we did do
9 some things not as well as we should have. And I
10 think the number one is probably under-estimating
11 the impact of having plants permitted. Even if
12 plants have not been permitted -- have been
13 permitted, I'm sorry, they also face additional
14 challenges from local governments or local issues.
15 And I think that is one criteria that we will take
16 a lot more seriously with more weighting, going
17 forward, on the permitting of the power plants.

18 And that's all I have, thank you for
19 your time.

20 PRESIDING MEMBER BYRON: Go right ahead.

21 ASSOCIATE MEMBER PFANNENSTIEL: Fong,
22 just a couple questions. One just gets back to
23 the point you just made. Even after a plant has
24 an Energy Commission license, it faces other
25 challenges from local authorities. Such as what?

1 MR. WAN: I can give you one example,
2 that's Calpine's Russell City. It's my
3 understanding that was permitted by the CEC
4 several years ago. And today we are still working
5 on an amended contract to extend their online
6 date. They have faced the challenges by -- I can
7 get you the information later, but --

8 ASSOCIATE MEMBER PFANNENSTIEL: Yeah, I
9 don't want to talk about a plant that's --

10 MR. WAN: They could not get their
11 financing due to a few lawsuits.

12 ASSOCIATE MEMBER PFANNENSTIEL: Okay.
13 Because the point is that the Energy Commission
14 does have authority to, has unique authority for
15 licensing plants, right. So, we can --

16 MR. WAN: Absolutely.

17 ASSOCIATE MEMBER PFANNENSTIEL: -- if
18 there's a local problem, it really is the Energy
19 Commission's authority that can, if we need to,
20 can trump the local authority, correct?

21 MR. WAN: That's my understanding.

22 ASSOCIATE MEMBER PFANNENSTIEL: Okay.
23 But then earlier you said something about there's
24 only one merchant plant built without utility
25 assistance. Now what we, of course, hear from the

1 merchant plant is that the reason they're not
2 getting built is that, even though they have an
3 Energy Commission license, is that they can't get
4 a utility long-term contract.

5 And we hear that over and over, for the
6 9000 megawatts that we have licensed and haven't
7 been built. That is the most common reason given
8 to us when we go back and ask.

9 So somehow in your procurement process
10 these 9000 megawatts are not getting selected.
11 And so I don't know, and I think that we at the
12 Energy Commission have not, because we're not
13 privy to a lot of the information, have known
14 whether this is a flaw in the procurement process,
15 whether we're licensing plants that are fatally
16 flawed when they then get into the utility
17 process, or how that comes about.

18 But we're hearing that there is some
19 resistance from the utilities in terms of
20 selecting these plants.

21 MR. WAN: Sure, I can cover that,
22 Commissioner Pfannenstiel. Out of the seven
23 contracts that we selected last RFO, five of those
24 were for power purchase agreements, and two of
25 those were for utility ownership.

1 And out of those seven contracts -- I
2 thought this may be a question, so I have a list
3 of the 9000 megawatts from the CEC's website here.
4 Russell City was selected; it is on that list.
5 And we did not select Calpine's San Joaquin or
6 East Altamont plants, because those two are also
7 owned by Calpine. The PRG made its decision and
8 we agree with that, that we should not be buying
9 all of our RFO outputs from one company in terms
10 of competitive. So those are the three plants in
11 northern California.

12 Then there is also Colusa Generating
13 plant that's also on the 9000 megawatts. That was
14 included as a winner in our RFO. And also listed
15 up here is San Francisco Reliability project.
16 That one has its own course, as you may know.

17 Other than that -- oh, there's Tesla.
18 Tesla's another 1000 megawatt. And we have
19 submitted a proposal on Tesla to backstop for the
20 fail plans.

21 So if I missed any of the northern
22 California sites, I will be happy to discuss this
23 with CEC Staff. I believe they actually took in
24 consideration at one time or another every single
25 one of those projects.

1 We believe that we were quite open to
2 the IPP industry, having selected five of their
3 contracts. The challenges that we're facing is
4 not one that we envisioned. One is it's hard to
5 get power plants through the permitting stage if
6 they're not permitted, or they face other
7 obstacles.

8 The second is that the entire
9 procurement process in which the PG&E will run its
10 RFO and then have about eight months for the PUC's
11 approval, and then the merchant generators will go
12 on to build the plants, including transmission
13 issues, requires them to lock in fixed prices in
14 the order of four to five years.

15 And we are facing very high pricing
16 increases in the basic commodities, whether it's
17 steel, concrete, or skilled labor. That has
18 really put a tremendous hardship on the IPP
19 industry. That's one of the reasons given to us,
20 Commissioner Pfannenstiel.

21 ASSOCIATE MEMBER PFANNENSTIEL: And so
22 is PG&E going back, then, into the power plant
23 construction business?

24 MR. WAN: PG&E, the policy we put in
25 front of the PUC is that we believe and support

1 hybrid market structure. That we believe the
2 proper balance for utility generation, new
3 generation, is approximately 50 percent.

4 ASSOCIATE MEMBER PFANNENSTIEL: Fifty,
5 5-0 percent?

6 MR. WAN: 5-0, five-zero.

7 ASSOCIATE MEMBER PFANNENSTIEL:
8 Utility --

9 MR. WAN: That's correct.

10 ASSOCIATE MEMBER PFANNENSTIEL: -- built
11 generation?

12 MR. WAN: That was not --

13 ASSOCIATE MEMBER PFANNENSTIEL: What was
14 the last power plant that PG&E built in
15 California?

16 MR. WAN: Gas-fired power plant, I
17 believe, was 1973, Pittsburg 7.

18 PRESIDING MEMBER BYRON: I believe the
19 Humboldt plant was the first time in 25 years that
20 we've seen a PG&E application before the
21 Commission.

22 ASSOCIATE MEMBER PFANNENSTIEL: Utility.
23 And so it's really getting a whole new business
24 line within the utility business, then?

25 MR. WAN: That's correct.

1 ASSOCIATE MEMBER PFANNENSTIEL: And that
2 decision was made, can you just give me a sense of
3 when and why?

4 MR. WAN: Well, the first one was very
5 opportunistic. That has to do with what we call
6 the Gateway Power Plant. It's formerly owned by
7 Mirant. It was called Contra Costa 8. And I
8 appeared before this Commission on the assignment
9 of a permit.

10 And PG&E received that permit along with
11 a site as a settlement for Mirant's alleged
12 actions during the energy crisis.

13 ASSOCIATE MEMBER PFANNENSTIEL: Rather
14 than getting into the specific plants, but why did
15 PG&E and when did PG&E make the overall decision
16 to go back into power plant construction; and why
17 50 percent?

18 MR. WAN: Sorry, I misunderstood the
19 question. We made the decision when we filed the
20 2004 long-term plan; what was when we submitted
21 our public position of 50 percent. And we believe
22 that a balance of merchant generators, as well as
23 utility generation, is in the best interest of the
24 customers.

25 And we learned our lessons from the

1 energy crisis when PG&E lost its credit rating.
2 Every single one of our PPAs, except for the QFs,
3 took the credit provision out and terminated the
4 contracts. That left us further exposed to the
5 spot market, and escalating high prices into a
6 very rapid spiral of running out of cash.

7 That was our number one concern.

8 I would like to --

9 ASSOCIATE MEMBER PFANNENSTIEL: So it
10 was not a cost, it was a reliability question?

11 MR. WAN: From a reliability
12 perspective. But in terms of the costs, each of
13 our selections also have to line up with all the
14 PPAs. We will only select a utility ownership
15 opportunity if it is superior in cost or
16 economics --

17 ASSOCIATE MEMBER PFANNENSTIEL: That, of
18 course, though, is invisible to us because we
19 don't see those costs, so we need to end up taking
20 your word for that.

21 MR. WAN: That's probably true, but I
22 would like to think that the Energy Division and
23 DRA and TURN are also part of the process. And
24 TURN has a pretty keen eye in looking out for the
25 customers.

1 ASSOCIATE MEMBER PFANNENSTIEL: Right,
2 but that's an advisory process, right? That's not
3 a decisionmaking --

4 MR. WAN: It is advisory process, but
5 they can challenge our selection if they do not
6 believe those were in the best interest of the
7 customers in the proceeding.

8 ASSOCIATE MEMBER PFANNENSTIEL: Thank
9 you; that's all my questions.

10 PRESIDING MEMBER BYRON: Mr. Wan, thank
11 you for being here. I had a couple questions, as
12 well. In fact, I think I might rephrase one of
13 the ones that the Chairman asked earlier.

14 I just jotted these down. I heard a new
15 criteria I hadn't heard before. I mean, I don't
16 know if it's a published one, or as you say, it
17 may have just come out of the procurement review
18 groups. Too many proposals -- don't accept too
19 many proposals from a single company.

20 MR. WAN: That was a concentration risk
21 proposal, yes, it was.

22 PRESIDING MEMBER BYRON: Um-hum. And
23 what's the concern there? That they might exert
24 market power?

25 MR. WAN: Oh, the concern there is

1 actually very straightforward, Commissioner Byron.
2 The concern is that the way all the market
3 participants negotiate is, it's just like the way
4 you expect when anybody who is for-profit is, they
5 would like to squeeze out a little more pricing, a
6 little more term advantages down to the end. And
7 see how far they can test it.

8 And if we only have one company to
9 negotiate, when we were looking for 2000
10 megawatts, and both of those two proposals came
11 from one company, it's quite difficult to
12 negotiate under those circumstances.

13 As well as Calpine was heading into
14 bankruptcy at that time. It led to very unsteady
15 situation to put all of our megawatts with a
16 bankrupt entity.

17 PRESIDING MEMBER BYRON: Okay. There's
18 another criteria that I'm aware of, and that's the
19 new construction one. That we want to see -- you
20 want to see respondents come back with new
21 construction, no existing power plants, correct?

22 MR. WAN: That's correct. That's
23 actually not a new criteria. That was very --

24 PRESIDING MEMBER BYRON: No, I didn't
25 mean to say it was a new one. That's another

1 criterion.

2 MR. WAN: Yes, it's been there since the
3 2004 long-term plan decision, and our RFO results,
4 as well as the 2006 long-term plan decision. We
5 are looking for new power plants under the PUC
6 decision to replace the aging, inefficient and
7 perhaps polluting older plants.

8 PRESIDING MEMBER BYRON: So, but at the
9 time that criteria was put in place in 04, I
10 believe there was a power plant that had just been
11 built that then could not participate even though
12 they did not have a contract for sale of power.

13 MR. WAN: That's correct.

14 PRESIDING MEMBER BYRON: So that
15 excluded them from the process?

16 MR. WAN: That's correct.

17 PRESIDING MEMBER BYRON: For what
18 reason?

19 MR. WAN: The reason is that the PUC
20 decision was specific to ask for bring in new
21 steel, new power plant to the marketplace. That
22 power plant Calpine clearly said did not need a
23 utility contract to be built. They said publicly
24 they were going to go ahead and build it;
25 therefore, it didn't need a contract to make it

1 happen. That was our logic. And the Commission
2 agreed with that.

3 PRESIDING MEMBER BYRON: Okay. With
4 regard to long-term procurement plans, are there
5 any penalties if you don't meet your plan? Is
6 there any down side to not fulfilling your
7 obligations on your long-term procurement plan
8 besides the lights going out. We're talking about
9 with the Commission.

10 MR. WAN: I should -- it's an excellent
11 question. I think I should phrase, just give you
12 a little picture of how we enter these contracts.

13 We actually want people to perform, so
14 we ask for credit assurances in terms of LCs. And
15 typically they give us a little bit of good faith
16 money at the time we short-list them because we
17 want to make sure legitimate. And the LC
18 requirements step up when the PUC approves the
19 contract. Then they continue to step up when more
20 and more milestones are met.

21 And so that's --

22 PRESIDING MEMBER BYRON: Or they drop
23 out of the process if they're not met.

24 MR. WAN: That's correct. And we give
25 them their money back. We've never, so far, kept

1 anybody's good faith money.

2 What happens is they run into hardship,
3 whether it's on the permitting front or the
4 lawsuit front, or even the economic front. All
5 companies make a decision, am I better off going
6 ahead and building the power plants into negative
7 economics. or should I just walk away from a few
8 million dollars of LCs. And some have chosen to
9 do so, to walk away from their LCs.

10 And your question as to what are the
11 implications for PG&E. Technically speaking,
12 there isn't any implication besides the lack of
13 reliability which hurts all of our customers. But
14 we take that responsibility pretty seriously. And
15 we would submit emergency measures to make sure
16 the lights do not, to the best of our
17 capabilities, do not go out.

18 In addition to that, we would probably
19 seek some sort of medium-term contract with an
20 existing power plant, whether it's been mothballed
21 or still in place, to get at least started again.
22 That would be our plan of actions.

23 PRESIDING MEMBER BYRON: So you take
24 into consideration contract failure during the
25 procurement process? In other words, do you go

1 out and over-procure sufficiently to cover the
2 possibility that one or more or many could fail
3 for any one of a number of reasons?

4 MR. WAN: We did put that proposal
5 forward, and the PUC did not adopt that type of
6 proposal. In general, we said -- this is the best
7 of my recollection, it's about a 25 percent
8 possible failure rate. That was not adopted.

9 PRESIDING MEMBER BYRON: This is a
10 little bit off topic, but just having you is too
11 good of an opportunity to ask, I've always been a
12 little bit confused about the pass-through costs
13 of natural gas.

14 Obviously, you'd mentioned earlier this
15 company interest in being 50 percent hybrid
16 market. Let's assume that a majority of these
17 plants, at least for now, are natural gas. You
18 essentially get the opportunity to pass through
19 those rising gas prices to consumers, correct?

20 MR. WAN: That's correct.

21 PRESIDING MEMBER BYRON: Through rate
22 increases. And we have some pending right now, I
23 believe?

24 MR. WAN: We do have some pending. They
25 go through what's commonly known as a fuel

1 adjustment clause.

2 PRESIDING MEMBER BYRON: Correct. So my
3 sense is that you're not entering in the tolling
4 agreements for natural gas on your current
5 procurement, you're assuming that bidders on your
6 RFO process are providing you fixed price energy
7 costs, correct?

8 MR. WAN: Let me try to answer that to
9 see if I understood it correctly. We are actually
10 entering into tolling agreements with the power
11 plants owners. So it's simply for the right to
12 bring natural gas and process natural gas --

13 PRESIDING MEMBER BYRON: Okay.

14 MR. WAN: -- and to convert electricity.
15 Separately we buy the commodity of natural gas
16 from the companies such as BP and Chevron. And
17 most of those transactions are indexed to either
18 California border or to PG&E's citygate. And they
19 fluctuate each day.

20 And then we go to hedge the index prices
21 independently of the physical commodity with the
22 Wall Street firms, and that's what I referred to
23 as the fuel hedging plan.

24 PRESIDING MEMBER BYRON: Okay, so it
25 really, to consumers then the price doesn't matter

1 if it's procured power or if it's a utility-owned?

2 MR. WAN: That's correct.

3 PRESIDING MEMBER BYRON: Back to the
4 issue of environmental considerations, and your
5 admission earlier about some of the procurement
6 that you've recently done and how difficult --
7 some of the difficulties we've had with them on
8 the permitting side.

9 Without, again, we don't need to go into
10 specifics, I don't think, but environmental
11 considerations, to my understanding, have not
12 really been part of the initial procurement. Are
13 you indicating that that may be part going
14 forward?

15 MR. WAN: I would --

16 PRESIDING MEMBER BYRON: And that's why
17 you want the Energy Commission back involved in
18 your PRGs?

19 MR. WAN: Well, I would like to do a
20 better job than what we did last time. And that
21 is one of the areas where my colleague, Mark
22 Krausse, is going to be helping us to take the
23 lead to make sure we understand all the
24 stakeholders' needs better. Get out there, use
25 our field folks to see what the local folks need

1 and where environmentalists saying, if there are
2 any airport issues or bird issues.

3 We need to approach the PPAs as if it's
4 a utility-owned project. As former Commissioner
5 Geesman used to tell me, he said, we are viewed as
6 the enabler of these power plants, so you might as
7 well understand we're going to take that approach
8 as we go forward.

9 PRESIDING MEMBER BYRON: Um-hum. In
10 fact, didn't I just read last week PG&E made some
11 major decision -- I'm sorry, major announcements
12 with regard to new renewables, is that correct?

13 MR. WAN: That's correct.

14 PRESIDING MEMBER BYRON: Would you mind
15 telling this Commission about those?

16 MR. WAN: Sure. We made an
17 announcement, along with two firms. One firm is
18 called OptiSolar; the other firm is called
19 SunPower. It was a total of 800 megawatts of
20 photovoltaic renewable energy.

21 OptiSolar is 550 megawatts. It uses a
22 technology called thin film. Basically the
23 thickness of the silicon is less than our hair.
24 And their drive is to crush the cost, making it as
25 cost effective as possible.

1 SunPower's technology is a proprietary,
2 highly efficient, traditional panel. But they put
3 all the electrical contacts on the back of the
4 panel so the front of the panel will have as much
5 exposure to the sun as possible.

6 And you may have also heard that
7 SunPower has a fairly innovative tracking
8 capability. That means it follows the course of
9 the sun throughout the day. And in all SunPower
10 strategies to get the most efficiency rather than
11 driving down the costs.

12 We selected these two companies because
13 we thought they have good management. They are
14 ready for the utility-scale. Both of them have
15 projects in the tens of megawatts, whether it's in
16 the United States, Canada or in Europe. We
17 believe they are ready to scale into the hundreds
18 of megawatts. We're pretty excited to see if that
19 can work.

20 PRESIDING MEMBER BYRON: But I'm sure
21 the number one reason you picked them is because
22 they beat the market price referent.

23 MR. WAN: They came darn close.

24 PRESIDING MEMBER BYRON: All right,
25 well, that's good.

1 MR. WAN: They came close enough for us
2 to give them a shot.

3 PRESIDING MEMBER BYRON: The reason I
4 bring these two up is they're the ones that I had
5 in mind when I mentioned earlier that these are
6 nonthermal. They will not be going through this
7 agency for permitting and siting.

8 And we take heed occasionally for our
9 process. But I think my experience with this
10 Commission for the last two years is they do an
11 excellent job of addressing all the environmental
12 quality issues that need to be addressed in the
13 siting of power plants.

14 These are big PV plants. These are the
15 holy grail of the renewable industry. And I'm
16 just concerned whether or not they'll get
17 permitted through local agencies. I believe
18 they're in the San Luis Obispo County area.

19 MR. WAN: That's correct. Both of them
20 are, as well as a third project that we have
21 already signed with a company called Ausra.
22 They're all in the same county.

23 PRESIDING MEMBER BYRON: Correct. But
24 that's thermal and that will be -- that's going
25 through our process. So you're taking that into

1 consideration, the selection of these two
2 renewable projects?

3 MR. WAN: We actually did. The amounts
4 of megawatts I mentioned, too, will be the full
5 contract quantity. Both of the contracts were
6 pretty complex in terms of phasing it out. The
7 beauty of PV is that you can build them as small
8 as 10 or even 25 megawatts. And it has plenty of
9 flexibility to accommodate potential compromises.

10 PRESIDING MEMBER BYRON: Okay. Just one
11 more question. I think it's a clarification. You
12 may know, Mr. Wan, we had a workshop here last
13 month on the procurement review groups. I found
14 it to be very educational.

15 And every single panel member said the
16 same thing you did, that they would like our staff
17 back involved in the PRG process.

18 But I note, based upon that workshop and
19 other subsequent meetings, that at this point
20 besides the PUC and TURN, I don't think there's
21 much other participation in many of the PRGs.

22 MR. WAN: We have our union --

23 PRESIDING MEMBER BYRON: There's been a
24 long list of folks --

25 MR. WAN: Yeah.

1 PRESIDING MEMBER BYRON: -- that have
2 participated in the past. But I think we're
3 seeing essentially that's the membership that
4 remains.

5 MR. WAN: I'm not aware of that. Can I
6 get back to you on that?

7 PRESIDING MEMBER BYRON: Sure.

8 MR. WAN: I'll have to check it.
9 Thanks.

10 PRESIDING MEMBER BYRON: Any other
11 questions?

12 ASSOCIATE MEMBER PFANNENSTIEL: Let me
13 just, on that last point, I think that would be
14 excellent information for us to have in this
15 proceeding. So if you could put something in
16 writing --

17 MR. WAN: Sure.

18 ASSOCIATE MEMBER PFANNENSTIEL: -- for
19 the proceeding, we'd appreciate that.

20 MR. WAN: Sure. What we can do is
21 provide you perhaps an attendance sheet for the
22 last several PRG meetings. Would that be
23 sufficient?

24 ASSOCIATE MEMBER PFANNENSTIEL: Or just
25 some other way of determining, you know, whatever

1 you consider to be the membership of the groups.

2 MR. WAN: Sure.

3 ASSOCIATE MEMBER PFANNENSTIEL: Thanks.

4 PRESIDING MEMBER BYRON: Yes, but now
5 having said that, I also have heard that TURN has
6 made major contributions to this group. So I
7 didn't mean to in any way diminish their input.
8 I've heard very good things.

9 MR. WAN: Absolutely. I would also say
10 so did the CEC Staff; the CEC Staff is part of the
11 group.

12 PRESIDING MEMBER BYRON: We love them,
13 too.

14 Thank you, Mr. Wan.

15 COMMISSIONER DOUGLAS: Could I ask one
16 followup question on the --

17 PRESIDING MEMBER BYRON: Oh, yes,
18 please.

19 COMMISSIONER DOUGLAS: -- siting
20 process? If a power plant hasn't gotten its
21 permits yet, and in the process of going through
22 the permits, either through here or through the
23 local agencies, and there are additional
24 environmental mitigation, does that require a
25 contract negotiation? Or do they have to start

1 over in the RFO process? How is that factored in?

2 MR. WAN: We're in the process of
3 tackling that challenge right now, because we've
4 just started our current RFO.

5 In the past the developers were willing
6 to assume the risk under the contract structure I
7 mentioned earlier, which is post a little credit,
8 and take the risk of assuming that could be
9 successful.

10 So, it's assumed by the seller.

11 COMMISSIONER DOUGLAS: Thank you.

12 PRESIDING MEMBER BYRON: Thank you.

13 ASSOCIATE MEMBER PFANNENSTIEL: Thank
14 you.

15 MR. WAN: Thank you.

16 PRESIDING MEMBER BYRON: I have one more
17 card. Of course, I'll make sure it's open to
18 anyone else that wishes to speak. Carl Silsbee
19 here from Southern California Edison.

20 MR. SILSBEE: Thank you, Commissioners.
21 I'd like to talk today --

22 PRESIDING MEMBER BYRON: Carl, please,
23 tell us what you do at Southern California Edison.

24 MR. SILSBEE: I'm a Manager in our
25 Resource Planning area. As such I'm responsible

1 for both the LTPP proceeding at the PUC and the
2 IEPR at the CEC.

3 PRESIDING MEMBER BYRON: Great. Thank
4 you for being here.

5 MR. SILSBEE: I'd like to talk
6 specifically on the social discount rate issue
7 that Mike Ringer talked about earlier this
8 morning.

9 I appreciate his thorough review of the
10 literature and also I thought it was a fairly
11 neutral discussion of the topic, which often
12 attracts a lot of interest and advocacy.

13 One of our primary regulatory uses of
14 discount rates is to evaluate investment decisions
15 that are made on behalf of our ratepayers. That's
16 the issue that we face in long-term procurement
17 planning very squarely, is what do we do now,
18 given an uncertain future.

19 In these applications what we believe is
20 appropriate is to use a ratepayer discount rate
21 because we're making decisions on behalf of the
22 ratepayers. And we believe a rate of about 7
23 percent real is an appropriate reflection of a
24 ratepayer discount rate.

25 We typically use our incremental cost of

1 capital as a discount rate. And we use it not
2 because the corporate discount rate is
3 appropriate, but because we believe it's an
4 appropriate proxy for our ratepayer discount
5 rate. And that value is also consistent
6 with private sector opportunity cost of capital.

7 When you sort through some of the
8 different arguments pro and con with regard to
9 discount rate in the material that Mr. Ringer put
10 together, I think that the most relevant
11 literature does support what we're doing.

12 If I can quote a specific piece of this
13 on page 3, and this is a paraphrase of the
14 federal, the White House Office of Management and
15 Budget guidance on discount rates.

16 "The 7 percent rate approximates the
17 opportunity cost of capital and is the appropriate
18 discount rate whenever the main effect of a
19 regulation is to displace or alter the use of
20 capital in the private sector."

21 A further benefit that we see of using a
22 value of around 7 percent, and one that's based on
23 our incremental cost of capital is it creates an
24 alignment between the economic basis for decisions
25 that we're making and what we charge to our

1 customers to recover the cost of those
2 investments.

3 There's a semantic issue here that I
4 want to alert everyone to, which is the term
5 social discount rate is subject to a variety of
6 different interpretations. But one interpretation
7 of it is a risk-free rate. And to the extent that
8 there's a proposal to use a risk-free rate, I
9 don't think that is appropriate for investments,
10 because they're inherently risky. And we really
11 need to incorporate that risk in our economic
12 evaluations.

13 Thank you.

14 ASSOCIATE MEMBER PFANNENSTIEL: Excuse
15 me, I just want to clarify what you just finished
16 with. The risk-free rate in your point is that
17 these investments are, in fact, inherently risky.
18 Certainly gas purchases over some period of time.

19 Yet, the other side of that is that to
20 the utility, certainly to the utility's
21 shareholders, there is no risk. Correct?

22 MR. SILSBEE: That's why I don't believe
23 a corporate rate of return or corporate cost of
24 capital to necessarily be looked upon as the right
25 economic basis. It's our ratepayers who bear the

1 consequences of our reasonable decisions.

2 And we use our incremental cost of
3 capital, which is very comparable to the private
4 return, opportunity cost of capital, as an
5 appropriate measure, we believe.

6 ASSOCIATE MEMBER PFANNENSTIEL: Thanks.
7 Got it.

8 PRESIDING MEMBER BYRON: Thank you very
9 much for being here. I guess, and I can go
10 through the same litany of questions that I asked
11 Mr. Wan from PG&E, as well, but I won't. I'll ask
12 you a simpler one. Is there anything that you'd
13 like to add with regard to some of those topics
14 that we discussed earlier with Mr. Wan?

15 MR. SILSBEE: Well, Edison also supports
16 having the CEC return to the PRG proceedings. I
17 think one of my colleagues, Mr. Cushnie, appeared
18 in the workshop that you held some time ago, and
19 took that position.

20 The PRG is not a decisional body in our
21 view; it's a body or sounding board for
22 discussions and informal communication among
23 parties. I think it has built a much higher level
24 of trust of what the utility staff are doing with
25 regard to procurement.

1 And I think it's built trust among the
2 utility staff as to the motives and the knowledge
3 and capability of some of the intervenor groups.
4 And I think it's that frank exchange of ideas in a
5 private setting that is the value of the PRG
6 process.

7 PRESIDING MEMBER BYRON: And we tend to
8 like frank exchanges of ideas in public settings.
9 We think the public's better served. And that's
10 really the reason that we're not participating in
11 those confidential meetings.

12 MR. SILSBEE: I appreciate that. The
13 problem that we face is many of the issues that we
14 confront in PRGs are things that cannot be shared
15 with market participants. And that's where we
16 wish to draw the line. We don't wish to draw the
17 line to prevent decisionmakers, agency staff or
18 consumer representatives from knowing our inner
19 thinking about pricing, quantities, strategies --

20 PRESIDING MEMBER BYRON: Right. But
21 that's part of the dilemma, isn't it, Mr. Silsbee,
22 is having --

23 MR. SILSBEE: That's exactly it.

24 PRESIDING MEMBER BYRON: -- the biggest
25 market participant in the room. Is Southern

1 California Edison pursuing a similar strategy as
2 PG&E in terms of a 50 percent hybrid market?

3 MR. SILSBEE: No, we're not.

4 PRESIDING MEMBER BYRON: In fact, when
5 we met recently with Southern California Edison,
6 they indicated during the long-term procurement
7 proceeding -- and forgive me, I don't know their
8 numbers at the PUC -- that they actually, the
9 company was interested in not having self-bidding
10 into those requests for offers, is that correct?

11 MR. SILSBEE: Yes. We've thought a lot
12 about the notion of head-to-head competition. And
13 in our view, a utility rate-based investment is
14 very difficult to compare to a competitive IPP
15 project because of the difference in the risk
16 streams to our ratepayers.

17 And we would rather not go down the path
18 of attempting to find ways to create a fair
19 balance involving a head-to-head process, but just
20 simply say where we want to focus our efforts on
21 new procurement is in things that the competitive
22 market won't provide to our customers.

23 PRESIDING MEMBER BYRON: I think we've
24 elicited another question, if you will.

25 ASSOCIATE MEMBER PFANNENSTIEL: Yeah,

1 and that was the perfect segue to what I was going
2 to ask about. When you say where the market won't
3 provide, is that how you're thinking about your
4 rooftop solar investment where the utility will
5 own the rooftop solar, I don't remember how many
6 megawatts you ultimately expect this to build out
7 to --

8 PRESIDING MEMBER BYRON: I believe it
9 was about 230 megawatts.

10 ASSOCIATE MEMBER PFANNENSTIEL: A big
11 program.

12 MR. SILSBEE: Yeah, that's about right.
13 Yes, that's an example.

14 ASSOCIATE MEMBER PFANNENSTIEL: And how
15 did you evaluate that? Against what? Was that
16 evaluated against other supply options in your
17 procurement? Was it just evaluated in terms of,
18 well, how was it -- what led you to decide that
19 this was a good utility investment?

20 MR. SILSBEE: I don't believe we filed
21 any sort of definitive cost effectiveness
22 evaluation with the application. We've been asked
23 to provide some supplemental testimony on that
24 regard, which we'll file in a couple weeks.

25 One of the concerns is that the kind of

1 investment that's being encouraged by the
2 California Solar Initiative is all-scale. Those
3 projects tend to have fairly large overhead and
4 installation costs. They don't have economies of
5 scale.

6 And so what we're trying to accomplish,
7 I believe, with the rooftop solar is to find a way
8 to install solar facilities for lower cost than
9 some of the policies the state is currently
10 pursuing.

11 ASSOCIATE MEMBER PFANNENSTIEL: Now,
12 this turns out to be, and I actually think it's a
13 very innovative idea and would like to see it go
14 forward, but if it turns out to be something that
15 really does work, through economies of scale and
16 driving down those costs, there are a lot of other
17 rooftops in southern California where this could
18 be applicable.

19 And so I assume there would be many
20 other potential, I mean basic economics would say
21 if there's a market there somebody else will come
22 into it. And then presumably sell that power back
23 to Edison.

24 It's being characterized by, I think,
25 one of the Edison press releases as essentially,

1 you know, rooftop power plants. So that would
2 mean that there could be some merchants building
3 these same kind of rooftop power plants, assuming
4 that your model shows the costs can get down low
5 enough to do that.

6 At that point, then, it is something
7 that's competitive. And, you know, would it ever
8 be then coming into your procurement process as a
9 possible other resource?

10 MR. SILSBEE: Well, to the extent these
11 investments become competitive for the private
12 sector, there certainly are -- all source
13 solicitations are open to, you know, renewable
14 resources, as well as conventional generation --

15 ASSOCIATE MEMBER PFANNENSTIEL: But then
16 it would beg the question of whether Edison would
17 continue to be building rooftop solar if it is
18 something the competitive market will. That was
19 really my question.

20 MR. SILSBEE: And I guess my observation
21 from the statements that we've made in the LTPP
22 proceeding is probably not. But I've not
23 discussed that with any of the officers at Edison
24 to know what their long-term plans are
25 specifically with regard to rooftop solar.

1 ASSOCIATE MEMBER PFANNENSTIEL: Just
2 curious. As I say, I think it's very creative.
3 I'm glad to see it happening. thank you.

4 MR. SILSBEE: Okay, you're welcome.

5 PRESIDING MEMBER BYRON: Thank you.

6 I do not have any other cards, however
7 the public comment period if open. Ms. Turnbull,
8 we'd love to hear from you.

9 MS. TURNBULL: Commissioners and Staff,
10 I'm Jane Turnbull; I'm here on behalf of the
11 League of Women Voters. I was not planning to
12 make any comments today, but I have found --

13 PRESIDING MEMBER BYRON: I've heard you
14 say that before, but we always --

15 MS. TURNBULL: I know.

16 (Laughter.)

17 PRESIDING MEMBER BYRON: -- we always
18 hear from you. And we like to.

19 MS. TURNBULL: Something opens up at
20 these meetings, which is really, you know, a
21 testimony to the effectiveness of the meetings.

22 Interested to see the number of
23 references to the impact of local permitting on
24 long-term procurement. And I think, at least as I
25 came into this meeting, I had not tied the two

1 together. But I think there is a tie here that's
2 really important. You know, one of the issues
3 being the reluctance to plan, you know, into a 20-
4 or 30-year period.

5 The League has really been supportive of
6 regional planning. We're very interested in
7 getting our local counties to include an energy
8 element in their general plans. And they're going
9 to only learn to do this if they realize that it's
10 going to be a significant component of those
11 plans, and going to have an influence in the long
12 term.

13 So I do think that at this point it's
14 important to recognize that there is a direct link
15 between long-term planning on the part of the
16 state and the local planning concerns.

17 PRESIDING MEMBER BYRON: Very good. Any
18 other comments? Yes, please.

19 MR. CHEN: Good afternoon; thanks for
20 the opportunity to comment. I'm Cliff Chen,
21 Senior Energy Analyst with the Union of Concerned
22 Scientists.

23 Just a brief observation that I wanted
24 to make about the need generally for evaluating
25 risk in utility planning and procurement

1 decisions.

2 First of all, I want to thank Mr. Ringer
3 for what I thought was an excellent report. I
4 thought it was very fair and balanced and did a
5 very good job of showing both the pros and cons of
6 adjusting the discount rate to better account for
7 risk in these decisions.

8 The take-away message for me of the
9 report was that while there may be disagreements
10 along, you know, utilities, academics and
11 consultants about whether it's appropriate to
12 adjust the discount rate to better evaluate risk,
13 there is universal agreement that this is
14 something that we need to do, and that we probably
15 need to do better from now on.

16 So, I would just encourage both
17 Commissions to continue working towards tools,
18 metrics, analytical tools that do a better job of
19 accounting for risk in utility planning and
20 procurement decisions. Whether it's adjusting the
21 discount rate or going with a certainty equivalent
22 method, or -- what was the other one -- or
23 portfolio analysis.

24 We're concerned generally that the sort
25 of historical track record of using sensitivity

1 analysis to look at risk is insufficient to fully
2 capture the tradeoffs between minimizing expected
3 cost and managing risk.

4 One of the issues with sensitivity
5 analysis, excuse me, is that I think policymakers
6 tend to default to the basecase or the most
7 expected case or most likely case, when they make
8 decisions, and that case is usually as case that
9 largely ignores risk.

10 So I would strongly encourage both
11 Commissions and the utilities to continue working
12 to develop tools that more adequately capture and
13 evaluate these tradeoffs. And to do so as quickly
14 as possible.

15 I think the 2007 IEPR was exactly on
16 target in making the recommendation that these
17 tools and metrics needed to be more fully
18 developed and fleshed out in the next set of long-
19 term procurement plans.

20 Thank you.

21 PRESIDING MEMBER BYRON: If you wouldn't
22 mind, when you say sensitivity analysis, are you
23 saying that synonymous with the scenario analysis,
24 or are you thinking differently there?

25 MR. CHEN: Well, when I say sensitivity

1 analysis I guess I'm referring to essentially
2 scenario analysis where, you know, certain
3 assumptions that tend to be the most uncertain are
4 adjusted over a range.

5 So things like, you know, different
6 natural gas price scenarios, things like different
7 carbon price scenarios.

8 So, you know, utilities in their long-
9 term plans, they might do one sensitivity analysis
10 for high and low natural gas prices. They might
11 do another sensitivity analysis for high and low
12 load growth. That is what I was referring to.

13 PRESIDING MEMBER BYRON: Mr. Chen, I'm
14 not an economist, I have to admit that right up
15 front. I mean clearly what we're interested in
16 with regard to the social discount rate is trying
17 to get renewables a fair shake in this analysis.
18 Giving them an equal footing.

19 And we're not meeting our renewable
20 portfolio standard goals, and I don't think it's a
21 secret that this Commission is having some
22 influence at the state level, and we fully
23 anticipate that we'll be moving to higher
24 renewable goals.

25 So, taking everything that we've learned

1 here today, that I've learned here today about the
2 social discount rate and its importance in doing
3 this kind of analysis, that it informs policy.

4 I guess my question to you had to do
5 more with the importance of the sensitivity
6 analysis versus the analysis that uses the social
7 discount rate.

8 Do we have to look at both, or does one
9 take priority over another? Because if we're just
10 arguing what that rate is, that seems to make the
11 difference in determining -- to determine whether
12 or not renewables stand up against natural gas.

13 MR. CHEN: Right. Yeah, that's an
14 excellent point. I think if you were to use a
15 risk-adjusted social discount rate then there
16 would be less of a need to also do the sensitivity
17 analyses at the same time.

18 That's not necessarily what I'm
19 advocating for. I mean I think sensitivity
20 analyses will continue to be a pretty important
21 and integral part of evaluating different resource
22 plans.

23 But at the same time we're concerned
24 that doing that alone is not sufficient to fully
25 capture the risks that customers face in this

1 brave new world of escalating natural gas prices,
2 and also a lot of uncertainty over future carbon
3 regulations.

4 PRESIDING MEMBER BYRON: Yeah, so the
5 Administration got quite worked up about 30 days
6 ago about watching the price of natural gas. And
7 then, of course, in the last 30 days it's
8 plummeted. A lot of volatility there.

9 Thank you very much for being here;
10 thank you for your comments. I hope you'll
11 provide written comments, as well.

12 MR. CHEN: Thank you very much.

13 PRESIDING MEMBER BYRON: Thank you. Any
14 other public comments?

15 Commissioners, do you have any closing
16 comments?

17 ASSOCIATE MEMBER PFANNENSTIEL: None.

18 PRESIDING MEMBER BYRON: I will provide
19 some short ones. As I listened to all the
20 excellent input that we received here today, good
21 presentations, good comments, I want to thank you
22 all for being here.

23 Clearly there's different constituents
24 in play in all of this. I quickly wrote down,
25 obviously there's ratepayers, and we're always

1 concerned about reducing their costs. There's
2 investors or shareholders, and we're always
3 interested in trying to maximize their profits.

4 And the environmental concerns are
5 paramount here at the Energy Commission clearly in
6 the siting of power plants.

7 This Commission's goals, I think, is to
8 try and balance all of those, and at the same time
9 bring into play the policy goals of the state.

10 Clearly long-term procurement and long-term
11 procurement planning and the procurement process
12 tied to many of those goals. In particular,
13 renewables; it ties to the competitive wholesale
14 market, which we asked a lot of questions about
15 today in that regard.

16 And I think it also ties to the
17 implementation of our goals for combined heat and
18 power and energy efficiency, just to name two
19 more.

20 So this is an extremely important topic.
21 I'd like to thank everybody for your input here
22 today. And we will be formulating our IEPR soon
23 in draft form for Committee review, won't we, Ms.
24 Korosec?

25 MS. KOROSEC: We will, definitely.

1 PRESIDING MEMBER BYRON: Did you want to
2 say anything before we close?

3 MS. KOROSSEC: The only thing I wanted to
4 do is remind parties that written comments are due
5 on August 25th.

6 PRESIDING MEMBER BYRON: Thank you.
7 With that, we'll be adjourned.

8 (Whereupon, at 2:30 p.m., the workshop
9 was adjourned.)

10 --o0o--

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

I, PETER PETTY, an Electronic Reporter, do hereby certify that I am a disinterested person herein; that I recorded the foregoing California Energy Commission Committee Workshop; that it was thereafter transcribed into typewriting.

I further certify that I am not of counsel or attorney for any of the parties to said workshop, nor in any way interested in outcome of said workshop.

IN WITNESS WHEREOF, I have hereunto set my hand this 8th day of September, 2008.



PETER PETTY