

DOCKETED

Docket Number:	19-IEPR-08
Project Title:	Natural Gas Assessment
TN #:	228226
Document Title:	Transcript of the 04222019 IEPR Commissioner Workshop on Preliminary Natural Gas Price Forecast and Outlook
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	5/10/2019 8:20:36 AM
Docketed Date:	5/10/2019

CALIFORNIA ENERGY COMMISSION
IEPR COMMISSIONER WORKSHOP

In the Matter of:)	Docket No. 19-IEPR-08
)	
)	
)	IEPR COMMISSIONER
)	WORKSHOP
)	
<i>2019 Integrated Energy Policy</i>)	
<i>Report</i>)	
_____)	

IEPR COMMISSIONER WORKSHOP ON
PRELIMINARY NATURAL GAS PRICE FORECAST AND OUTLOOK

CALIFORNIA ENERGY COMMISSION

THE WARREN-ALQUIST STATE ENERGY BUILDING

ART ROSENFELD HEARING ROOM - FIRST FLOOR

1516 NINTH STREET

SACRAMENTO, CALIFORNIA 95814

MONDAY, APRIL 22, 2019

10:00 A.M.

Reported By:
Peter Petty

APPEARANCES

COMMISSIONERS AND ADVISERS:CALIFORNIA ENERGY COMMISSION:

Janea A. Scott, Vice Chair, Lead Commissioner for 2019 IEPR,
California Energy Commission

Karen Douglas, Commissioner, California Energy Commission

Andrew McAllister, Commissioner, California Energy
Commission

OTHER PRESENTERS:

Jonathan Bromson, Attorney, California Public Utilities
Commission

STAFF:

Heather Raitt, IEPR Program Manager

Jennifer Campagna

Anthony Dixon

Robert Gulliksen

Angela Tanghetti

PUBLIC SPEAKERS

(None.)

I N D E X

	<u>Page</u>
1) Opening Comments Heather Raitt, Integrated Energy Policy Report (IEPR) Program Manager	5
2) Proposed 2019 Natural Gas Market Trends and Outlook Scope Jennifer Campagna, California Energy Commission	7
3) Preliminary 2019 Natural Gas Market Results Anthony Dixon, California Energy Commission	12
4) Natural Gas Demand Updates-North America Robert Gulliksen, California Energy Commission	30
5) Preliminary 2019 IEPR Common Cases Angela Tanghetti, California Energy Commission	40
6) Presentation Jonathan Bromson, California Public Utilities Commission	57

I N D E X (Cont.)

7) Public Comments (None.)	80
8) Closing Comments (None.)	80
Adjourn	80
Court Reporter's Certification	
Transcriber's Certification	

P R O C E E D I N G S

APRIL 22, 2019

10:02 a.m.

MS. RAITT: This is the IEPR Commissioner Workshop on the Preliminary Natural Gas Price Forecast and Outlook. I'm Heather Raitt.

I'll quickly go over housekeeping items.

If there's an emergency and we need to evacuate the building, please follow staff outside the building to Roosevelt Park across the street.

We are being recorded and we will have a written transcript in about a month. And we're being broadcast over WebEx, and we will post a recording of the workshop in about a week or so.

We will have an opportunity for public comments at the end of the workshop. Folks can go to the center podium to make remarks, and we'll limit it to three minutes per person.

For WebEx participants, please just use your raise-your-hand feature and we will open up your line at the appropriate time at the end of the day.

The materials of the meeting are posted and available at the entrance of the hearing room, and written comments are welcome and due on May 6th.

And with that, I'll turn it over to the Commissioners. Thank you.

1 COMMISSIONER McALLISTER: Thanks, Heather. This
2 is Andrew McAllister, lead on efficiency and overseeing the
3 forecast this year. Not a whole lot to say. This is sort
4 of the first incursion into the natural gas arena, this
5 IEPR cycle.

6 Just wanted to point out that sort of the context
7 I think is a richer context this year maybe than previous
8 IEPRs, a lot of talk about natural gas and what its future
9 is. And so we're not really to get into that today.

10 This is sort of the traditional forecast pathway
11 that we're starting here, but I think inevitably over the
12 course of the forecast period, we're going to talk about
13 different scenarios which I think is a broader conversation
14 this year than it has been the past.

15 And so I'm really actually looking forward to
16 that process and bringing in stakeholders. And I think
17 there will be more interest than sort of historically
18 maybe. It won't be the technical sort of market
19 participants only. I will also be a little bit more
20 advocacy and probably some stronger opinions about this
21 down the road.

22 So I think that's a conversation we do have to
23 have. And we're sort of kicking it off in general terms
24 today. But this really a foundational workshop, and it's
25 all staff from the Energy Commission and from the Public

1 Utilities Commission that we thank for being here and
2 presenting today. And looking forward to hearing about the
3 pilots that they've got going on.

4 So with that, I'll hand it to Lead Commissioner
5 Scott.

6 VICE CHAIR SCOTT: Good morning. Thank you. I'm
7 Commissioner Scott. I'm the lead for the 2019 Integrated
8 Energy Policy Report this year and I will mostly just echo
9 what you heard Commissioner McAllister say.

10 This is our Preliminary Natural Gas Price
11 Forecast and Outlook. And again, we have maybe a little
12 bit broader of a context to be looking at this and thinking
13 about this this year. So we warmly welcome engaged
14 participation, and I'm looking forward to today's workshop.

15 MS. RAITT: Great. Our first presentation is
16 from Jennifer Campagna from the Energy Commission.

17 MS. CAMPAGNA: Good morning, Commissioners. My
18 name is Jennifer Campagna of the Natural Gas Unit in the
19 Energy Assessments Division.

20 Today I will be providing an overview of the
21 proposed topics for the 2019 Natural Gas and Market Trends
22 and Outlook Report.

23 Just a brief background, under statute, the
24 Energy Commission is required to conduct a natural gas
25 assessment in support of the IEPR. The Natural Gas Outlook

1 Report supports this mandate. It's a technical supporting
2 document for the IEPR that assesses natural gas trends and
3 issues on a national and state level and provides natural
4 gas price projections for the next several years. The
5 major points from this report will be summarized in a
6 chapter for the 2019 IEPR, along with any policy
7 recommendations.

8 Just a brief overview of the topics that we are
9 proposing for the Natural Gas Outlook. I will provide more
10 detail on these topics in upcoming slides.

11 As mentioned, the report will provide the annual
12 natural gas price projections out to 2030. It will also
13 provide an overview of the production cost modeling
14 results. It will have an update on natural gas trends on
15 both a national level and for California and an update on
16 how we're meeting the requirements of Assembly Bill 1257.
17 Again, I'll provide more information on that in a later
18 slide.

19 The main topic that we do cover and we will cover
20 in this Natural Gas Outlook Report is the natural gas price
21 projections. The Energy Commission uses the North American
22 Market Gas-trade model, also known as NAMGas, to produce
23 natural gas price projections for both the United States
24 and California.

25 A chapter of the Outlook Report will describe the

1 inputs and assumptions used in the model and will provide
2 the findings for the high, mid and low demand 2019 IEPR
3 common cases and the associated prices with those cases.

4 Anthony Dixon from the natural gas team will be
5 providing more detail on the natural gas price projections
6 later this morning, and he'll be providing the preliminary
7 natural gas price projections today. The Outlook Report
8 that will be adopted later this year will contain the
9 revised price projections.

10 Staff from our production cost modeling team use
11 the PLEXOS model to forecast natural gas demand for power
12 generation in the WECC region and the impacts to
13 California. They consider various inputs and assumptions
14 such as power plant retirements and additions and clean
15 energy policies.

16 They also provide GHG emissions projections. The
17 same chapter that covers the NAMGas findings will include a
18 description of the PLEXOS findings.

19 And today Angela Tanghetti will discuss the
20 inputs and assumptions and early results from the
21 production cost modeling. And the Outlook Report that will
22 be adopted later this year will provide revised projections
23 for natural gas demand for the WECC region, including
24 California.

25 In the report, we will have a chapter that

1 describes what is happening U.S.-wide with regards to
2 natural gas supply, demand and infrastructure. We will
3 explore trends such as the increased natural gas production
4 and growing supply U.S.-wide, liquefied natural gas
5 exports, natural gas exports to Mexico, and possible
6 impacts to California.

7 In terms of demand, one of the trends we will be
8 looking at is the switching from coal to natural gas for
9 power generation. And we will look at demand from other
10 sectors, not just power generation.

11 In terms of infrastructure, we will examine new
12 pipelines or changes in the infrastructure.

13 So California, we will get into more detail. We
14 will look at any impacts to California from U.S.-wide
15 trends. We will look at clean energy policies and the
16 impact on natural gas use, for example, S.B. 100 and the
17 trend of electrification of homes.

18 We will look at demand for power generation and
19 in-state production versus imports. We will provide an
20 update on renewable natural gas.

21 Jonathan Bromson of the CPUC is here today. We
22 will be coordinating with them on this issue. And he will
23 be providing more details on their RNG program and their
24 dairy pilot projects and related progress in this area.

25 As for infrastructure, we will be looking at the

1 aging pipelines and storage facilities and their expected
2 life span. We will also look at maintenance and safety
3 issues.

4 As for storage, we will briefly discuss Aliso
5 Canyon and the OII, but this will be a standalone chapter
6 in the IEPR, and a separate workshop will be held on this
7 issue on May 23rd in Southern California.

8 We will provide a status update on other storage
9 facilities throughout California. And finally we'll have
10 an update on the DOGGR rules that were adopted in 2018 with
11 relation to well permits.

12 We will provide an update also on Assembly Bill
13 1257, which I mentioned previously. That bill was passed
14 in 2013 and required that the Energy Commission produce a
15 report on the benefits of natural gas every four years.

16 A report is due this year. But since the bill
17 has been rescinded and the last report will be in 2023, we
18 will actually be covering this requirement as part of the
19 Natural Gas Outlook, especially given that with the
20 requirements of Senate Bill 100 and the declining role of
21 natural gas for power generation in California, we will be
22 mostly discussing any updates on natural gas, methane
23 emissions studies, and we will examine the Research and
24 Development Division's efforts under the decarbonization
25 contract and provide a status update on the EDF studies.

1 So as for next steps, after this workshop, we
2 will be reviewing and considering public comments, which
3 are due May 6th.

4 Staff will be running the NAMGas model and
5 producing revised natural gas price projections later this
6 year using the NAMGas model.

7 We will be writing the report in the coming
8 months, and we will hold another workshop in the September-
9 October 2019 time frame, where we will present the revised
10 natural gas price projections as well as the revised
11 findings from the PLEXOS model.

12 And finally at that workshop we will be
13 presenting the draft Natural Gas Outlook Report.

14 With that, I conclude my presentation. Again, I
15 will just reiterate, written comments are due May 6th. I'm
16 happy to try and answer any of your questions.

17 Thank you very much.

18 COMMISSIONER McALLISTER: Thanks very much. I
19 don't have any questions at this juncture, but I'm sure we
20 both will.

21 So thanks.

22 MS. CAMPAGNA: Thank you.

23 MS. RAITT: Thanks. So next is Anthony Dixon,
24 also from the Energy Commission.

25 MR. DIXON: Good morning, everyone. So I am here

1 to present for the North American Market Gas-trade model,
2 NAMGas, the preliminary results from our work this year.

3 First, I'll go over a little bit about it. We're
4 producing our IEPR common cases. The demand -- this
5 produces also not just price but also produces on a
6 national level the demand/supply flows, prices and also
7 shows us annual trends for natural gas throughout North
8 America.

9 So a little background on the model. It's built
10 on the MarketBuilder platform. It's an economic general
11 equilibrium model. It's been well vetted. We've done a
12 lot of research, and we continue to do research to make
13 sure this is still the best model to be using. And for
14 what we do, this is the best fit for what we do.

15 We always reset our assumptions every year to
16 incorporate any of the IEPR common cases.

17 We also update all our pipeline capacities to
18 make sure they're good, make sure any new construction is
19 coming online because this is a 30-year forecast.

20 Also, this year -- that was something we haven't
21 done in a few years -- we updated all our resources. We
22 updated the costs, the proved and the potential resources,
23 because the United States is producing a lot of gas. We're
24 finding new ways of doing it at a much lower cost than we
25 have ever before.

1 So we went through and did a lot of research
2 using the Potential Gas Committee reserves, looking through
3 oil and gas journals and things like that to really get our
4 prices much more accurate compared to what they have been
5 in the past.

6 So a little more about the model. It basically
7 connects supply basins through pipelines to demand centers
8 and gives us our prices and flows at all those different
9 centers.

10 The model being generated does all 30 years
11 across all time periods and all modeling points
12 simultaneously. It does all these calculations at once.
13 I'm glad I don't have to do that on paper because that
14 would be a lot of work.

15 So, as you can see, this is one state of the 48
16 states -- Canada, North America -- just to kind of show the
17 complexity of what's going on and what we have to trace
18 throughout this model.

19 So we developed three cases to go along with the
20 IEPR: the high demand, low price, the mid demand and low
21 price, and we're also exploring some sensitivity cases.
22 The two we're kind of working on and still having issues --
23 because trying to work these issues out on an annual model
24 is difficult because of the constraints in Southern
25 California. We're trying to work and see how we can model

1 those prices, and if that constraint continues, what the
2 prices will be if something like that continues.

3 Once again, on an annual model it's difficult to
4 do.

5 And also, at your suggestion, Commissioner
6 McAllister, we're also looking at the decarbonization, the
7 less use of natural gas in buildings in California and how
8 that declining will affect prices and things like that.

9 So we're looking at it. Unfortunately, on an
10 annual model, some things kind of average out, it's a
11 little difficult to do. But that's one reason we're
12 working on developing a monthly model so we can get more
13 granularity and really look at these much better than an
14 annual model can.

15 COMMISSIONER McALLISTER: Let's see, could you
16 sort of -- so we have this price issue in Southern
17 California.

18 How does your model incorporate those market
19 fluctuations? It doesn't have any explanatory power,
20 right, over those kinds of things. But how do you use that
21 information?

22 MR. DIXON: Well, what I do and what we do is we
23 back-cast a couple years. So our model, we actually start
24 in 2017 and we try and calibrate the model to produce and
25 mimic what really happened in those years. And this is one

1 of the issues we're having, we're seeing, because 2018 was
2 such a crazy year with the Southern California issues, also
3 the fact that we have complete price collapses in West
4 Texas because there's so much associated gas that they
5 can't get out.

6 We have Western Canada -- and these are places
7 that supply gas to us. So we're seeing these super low
8 prices in supply basins, but yet we're having extremely
9 high prices in Southern California.

10 And, once again, on an annual model, it can -- if
11 you have two months of really high prices, it can throw
12 that whole annual average out. And so that's the issue
13 we're looking at -- it has pipelines so we can constrain
14 the pipelines, constrain flows and we we're seeing those
15 are the price differences.

16 So it's just -- once again, it's -- yeah.

17 COMMISSIONER McALLISTER: Yeah, okay. So it's
18 really kind of -- trying to get your head around what's
19 happening with different runs and scenarios.

20 MR. DIXON: Yeah. And that's why I'm doing as
21 many sensitivity cases as we can. We've upgraded our
22 computer system. We have a lot better computer power now.
23 It's not taking us as long to turn our results around.

24 So we're doing a lot of different things to see
25 what happens, even if it does something crazy, at least

1 we're looking at it, we're looking at all -- we cut this
2 pipeline off, we add pipelines, we change supplies. We're
3 looking at all those things.

4 COMMISSIONER McALLISTER: Great. Thanks.

5 MR. DIXON: My pleasure.

6 VICE CHAIR SCOTT: To that point, I think it
7 might be worthwhile when presenting the final in September
8 or October or in the way that we write up the report to
9 kind of make the difference between -- to really
10 differentiate between, okay, here's kind of what's
11 happening on a month-to-month basis and -- but because it's
12 this longer span, this is why you don't see it across the
13 span. And just make that really clear so that when people
14 are reading, they can kind of understand the difference
15 between what was happening last summer versus what we see
16 over 10 years.

17 MR. DIXON: That would be my pleasure.

18 So for a model, we have a couple different
19 imports. Basically it's residential, commercial,
20 industrial, power -- and natural gas for transportation
21 use.

22 These are all produced by a model called our
23 Small "m" model. And Robert Gulliksen is going to be
24 presenting on that a little later, because we've updated it
25 as well this year.

1 We also -- our model has elasticities. We
2 updated them this year. There was a new study by Hausman
3 and Kellogg about new elasticities for the prices, so this
4 is the first update we've done in a few years on that.

5 Probably the biggest thing that really drives our
6 model is the natural gas supply. And as this graph shows,
7 over the time from 2007 to '15 to now our 2019 cases, how
8 much more gas we're producing at even lower and lower
9 costs.

10 This is technology, just learning how to do
11 things better.

12 And a little more about our natural gas supplies
13 because we did a lot of work on updating these this year.
14 As you can see from this, how much gas we're able to get.
15 This is from the Potential Gas Committee.

16 So our future supplies have reached over 3000 TCF
17 in 2016. This is just historically high. We're producing
18 more gas than we've ever produced before yet our reserves
19 keep increasing, our proved reserves, our potential
20 reserves are just increasing like crazy.

21 And another thing to show, another reason costs
22 are coming way down is a lot of the gas being produced is
23 associated gas. They're not even looking for the natural
24 gas. They're looking for oil, they're looking for propane,
25 ethane, butane. And natural gas is basically a byproduct.

1 Waha, Texas is a perfect example where they're
2 having negative prices, 40 cent prices. They can't get the
3 gas out of there. They're having historic amounts of
4 flaring of natural gas. Hopefully, by the end of this
5 year, they're supposed to have some more take-away capacity
6 to come back on so they can get the gas out.

7 There's projects where they're going to build gas
8 from the Permian Basin to the Gulf Coast to get out for LNG
9 use.

10 And that's another issue, is we have Mexico with
11 a new president. They've said they're going to divest from
12 natural gas and put money into their diesel fleet. So that
13 kind of threw -- a whole bunch of pipeline projects
14 basically are now in limbo.

15 If you go on like Point Logic, who is one of our
16 big sources, a lot of these natural gas projects for
17 pipelines coming out of the U.S. going into Mexico have now
18 been canceled or delayed or postponed until future things.

19 So that was a lot of take-away gas that was
20 coming off, which in supply perspective that helps the U.S.
21 because that means we have more gas for us. We're not
22 going to be sending it to Mexico, which will help keep gas
23 prices low.

24 So this is a little more on the reserves. We
25 break it down to potential and proved. Proved is what we

1 know is in the ground, what's already coming out of the
2 ground. Potential is we might have to drill a little bit
3 more, do a little research.

4 And so we break our potential resources into
5 three little categories. There's a growth in known
6 undeveloped potential and you have to find -- it's just
7 basically how much more money and how much more resources
8 are needed to find these reserves, and the certainty of how
9 much reserves there is decreasing.

10 COMMISSIONER McALLISTER: Hey, Anthony, can I ask
11 a quick question?

12 MR. DIXON: Yes, of course.

13 COMMISSIONER McALLISTER: So obviously this
14 associated gas, venting, clearly a problem --

15 MR. DIXON: Yes.

16 COMMISSIONER McALLISTER: -- flaring, you know,
17 still a problem, capturing expensive, you know, in the
18 middle of nowhere perhaps.

19 I guess, are there any statutory or regulatory
20 guidance? Is there any guidance about what should be done
21 or what must be done with that associated gas? I mean it
22 would have to be at the federal level, obviously.

23 MR. DIXON: Yes, it at the federal level, which
24 right now is very pro, you know, "go for it" type of issue.

25 COMMISSIONER McALLISTER: Are there any legacy

1 regulations that they have to comply with still?

2 MR. DIXON: There are but they're more -- it's
3 more left up to the states on an individual basis. So you
4 have like Colorado which has high -- and they're coming out
5 more and more stringent requirements of what you can flare
6 and how much you can flare and when you can flare.

7 Venting is pretty much done with -- you don't
8 just release the gas. You have to at least burn it so it's
9 a little cleaner, I guess.

10 COMMISSIONER McALLISTER: Is that a state or is
11 that a federal requirement?

12 MR. DIXON: There is a federal requirement. I'm
13 not sure exactly what the level is on that. But like I
14 said, most states are going further. But unfortunately the
15 two biggest states that produce the most -- North Dakota
16 (the Bakken) and then Texas. It's just -- they're looking
17 for the oil. They don't care about the gas and they're not
18 too worried I guess about the environmental impacts,
19 unfortunately.

20 COMMISSIONER McALLISTER: Well, you think they're
21 flaring at least?

22 MR. DIXON: Oh, they are flaring. There's record
23 amounts of flaring.

24 COMMISSIONER McALLISTER: Yeah, okay. So as far
25 as you know, they do take pains not to vent.

1 MR. DIXON: Yeah, they at least try not to vent -
2 - just to vent it out. But they at least try and flare it.

3 COMMISSIONER McALLISTER: Okay. Great.

4 MR. DIXON: Yeah, yeah. It's slow death over
5 fast. Yeah.

6 COMMISSIONER McALLISTER: Thanks.

7 MR. DIXON: So when we were developing these new
8 cost curves and things for our supply, a lot of the cost --
9 you know, the cost of actually drilling, how far you have
10 to drill, how large these drillings are going, and also the
11 production of liquid to gas ratios. These all account for
12 the cost and how much it costs to get the gas out of the
13 ground and on to market.

14 This is a nice graph kind of showing how the
15 prices increase. You have a very -- zone of abundance
16 where there's a lot of gas very cheap and as you start
17 depleting it, your costs will increase exponentially.

18 So for our common cases, some of our assumptions
19 -- this is in the mid demand case. These -- excuse me.
20 These numbers are kind of the starting points for our
21 model. These are not the actual output from the model.
22 Our model takes these inputs and then uses the elasticities
23 and it will change them.

24 So initially in our model, we have 27.5 trillion
25 cubic feet of natural gas demanded in the United States in

1 2018. These are based on EIA estimates. Power Gen
2 accounted for 9.3 TCF of that.

3 For 2020 and 2030, you can see it's increasing,
4 albeit much lower than it had in the past.

5 Our proved reserves are from 438 trillion cubic
6 feet. This is from December 2018. And as you can see from
7 last -- in 2017, there were 324 trillion cubic feet, so you
8 can see the expansion. This is proved. This is what we
9 know we can get out of the ground. This is high certainty
10 of gas we can get out. And even the potential resources
11 are increasing.

12 We continue to use the 65 gigawatts of coal being
13 converted to gas for our mid case.

14 And we've also done our due diligence and return
15 some of these income tax rates and return on equity and
16 investment parameters on resources and pipelines.

17 Backup technology is -- well, we're not using
18 that right now because it's at \$15. It's basically if gas
19 got to a \$15 price, it's some new technology that would
20 take over, whether it be new development gas or just
21 methane hydrates or some just new technology that would
22 take over if gas got that high because people would want to
23 try and find something cheaper.

24 Some more of our assumptions for our three cases
25 and how we break them up.

1 Mid demand case, we have a 1.9 percent GDP growth
2 rate. This is for the U.S. in general. I know our demand
3 office has a different number, but that's for California
4 specifically. And we use EIA's number to kind of match
5 their work.

6 And we have to 2.4 percent growth rate in the
7 high demand case and 1.4 in the low demand case.

8 Renewables, we have California meeting its
9 renewable standard goals and all states that have an RPS
10 target, that they're going to meet their targets.

11 And the changes in the gigawatts in coal
12 retirement, we have 75 gigawatts retirement in the high
13 demand case, and the low demand and mid are both going to
14 stay steady at 65.

15 And for the cost of capital and resources and the
16 maintenance costs for the low and high demand cases, we
17 have them being 30 percent higher or lower. And we've also
18 eased in the prices this year. Usually we just do -- it's
19 like 2019 prices jump 30 percent or decline 30 percent this
20 year. Each year it goes up by 10 percent to kind of smooth
21 out the projection so you don't have this huge jump between
22 the cases.

23 So this is more of the initial demands. These
24 are what we put into the model and then the model itself
25 changes them.

1 So some of the performance of the cases on a
2 national level. So here we have our three cases, which are
3 the blue, red and green with the black line being EIA's
4 forecast. From this, as you can see, we pretty well mimic
5 what EIA is seeing in their reference case.

6 And this is for Henry Hub, which is the main
7 pricing point for the United States and North America.
8 Basically all of their gas prices kind of follow this one.
9 There's always local problems.

10 So we have prices varying between \$6 in our low
11 demand/high price case and \$2 in our high demand case with
12 it being around \$4 out to 2030 in our mid demand case.

13 So once again, we see very flat, very low prices
14 for natural gas. It's just there's a lot of it out there.

15 This can all change. Policy could come along and
16 change it. A new administration can change it. A lot of
17 this is also dependent on oil prices again.

18 Gas and oil used to kind of trend together, then
19 they diverged, and now we are kind of finding -- we've done
20 some preliminary research on it. We're finding they are
21 still going together, but they're going in opposite
22 directions. So as oil prices go up, gas prices are going
23 down because of the associated gas that goes along with it.

24 So we're seeing this new thing going on. We're
25 actually seeing them going in opposite directions.

1 And so we have our demand. It's increasing, just
2 not a whole lot. This is U.S. overall. So our annual
3 growth rate in the mid demand case is a little over one
4 percent, and most of this is industry and -- industrial and
5 Power Gen is where most of the growth is. We see very flat
6 and low for residential and commercial.

7 A lot of this has to do with energy efficiency
8 standards throughout the country. Even though there might
9 not be a federal mandate for this stuff, a lot of the
10 states themselves are stepping up and doing their own.

11 And this is -- for the U.S. this is the Power Gen
12 sector, which is one of the largest increases we see.
13 Right around one percent in the mid demand case, a little
14 over one percent growth in the high demand and about a half
15 a percent in the low demand case. This is where most of
16 the growth is. It's a lot of the coal switching. A lot of
17 people -- the most cleaner -- cleanest of the fossil fuels
18 I guess, it's cleanest of the bad stuff.

19 And we see production increasing. A lot of this
20 is driven by exports, especially in the LNG sector. We
21 have our highest record LNG and we're still increasing.
22 There's a lot of projects that are being built, expanding
23 Sabine Pass. These guys are just pushing it out. As long
24 as our gas prices stay super cheap, we can stay competitive
25 on the world market.

1 And more of California. So the three -- well,
2 Henry Hub's a main for the national level and two of the
3 main pricing points coming into California are Topock and
4 Malin. Malin is the northern hub. This brings gas out of
5 the Western Canada basins and the northern Rocky Mountains
6 out of Opal. And Topock brings gas from the Southwest from
7 the San Juan Basin in the Four Corners area in West Texas.

8 We kind of see the prices. They continue to
9 trade at a discount, the Henry Hub, because of the low cost
10 coming out of West Texas and Western Canada. And this
11 discount from Henry Hub is going to widen over time. As we
12 see, these basins continue to produce extremely low cost.

13 And the basis of the difference between Malin and
14 Topock, we kind of see staying consistent over the forecast
15 period.

16 So as we can see, U.S. natural gas demand grows
17 about one percent between 2018 and 2030. Our Henry Hub
18 prices are staying low. And our production is going to
19 increase, mainly driven by the LNG.

20 So a couple things to also consider with our
21 cases. We're working very closely with PLEXOS from the
22 production cost modeling team to make sure things line up
23 because as we change things and prices change, it changes
24 the -- where gas is going to be used for them. When they
25 change it, it changes ours.

1 So we're doing a lot more inter-work between the
2 two of us this year that we've not done in the past and
3 it's really nice to see that we're doing this and really
4 working to try and get our cases to kind of coincide with
5 each other. It really makes sense and to have the story
6 behind why we see certain things happening.

7 And another piece of the puzzle is, there's a
8 bridge between what I produce in the NAMGas model and what
9 we produce in the PLEXOS model, which is called the burner
10 tip model. It gets a lot of attention because it's the
11 prices that go into the production cost modeling. But it's
12 key to understand that what drives that model are the
13 prices that come out of the NAMGas model.

14 I know a lot of people call about the burner tip
15 and they really focus on it, but the burner tip basically
16 takes the annual price, breaks it up into a monthly price
17 adds a transportation cost, which are all givens. We do
18 research to find out what those transportation costs are.
19 They're not something we just come up with.

20 So what really drives the price changes in that
21 model is the NAMGas model. So what happens here really
22 produces that, which can really affect the PLEXOS modeling.
23 And their modeling can really affect ours. And that's why
24 we're really working through this time between this run and
25 the runs that we'll have done sometime in August is really

1 working to get these things to coincide.

2 So some of our next steps. We're going to keep
3 monitoring and looking at the price volatility in Southern
4 California. We want to better incorporate the LNG market.
5 Right now it's kind of static in our model. We're trying
6 to make it a little more functional.

7 We're going to continue to revise and work on the
8 small "m" model. We'll be incorporating the preliminary
9 CED forecasts into our model. We're going to continue to
10 develop this monthly model and we're even thinking about
11 trying to do a one-year daily model so we can really get
12 some granularity and really work with the PLEXOS and find
13 some -- where we can really look at things that happen with
14 Southern California, with any kind of supply issues,
15 pipeline outages. We can really look at that at a very
16 granular level.

17 And these results will be presented in the fall
18 workshop, including our sensitivity cases and really
19 distinguishing, making sure people know that there's an
20 annual in some of these monthly fluctuations that we're
21 seeing.

22 So are there any more questions or comments?

23 VICE CHAIR SCOTT: I think we're good. Thank you
24 very much.

25 MR. DIXON: Thank you so very much.

1 COMMISSIONER McALLISTER: Thanks very much.

2 VICE CHAIR SCOTT: I just want to acknowledge
3 that Commissioner Douglas has joined us.

4 So next is Robert Gulliksen also from the Energy
5 Commission.

6 MR. GULLIKSEN: Good morning, Commissioners and
7 everyone.

8 So today I'm going to talk about our little "m"
9 model, which is our basic demand model which feeds into our
10 NAMGas model. I'm going to first talk about the four major
11 sectors that make up the demand -- most of the demand.

12 We're going to talk about each sector's factors
13 that factor in to determining the demand and some updates
14 that we recently applied.

15 So little "m" is the linear regression model
16 inside of an Excel spreadsheet. It uses past data that
17 goes back to 1986 to project into the future. And we
18 source things like prices and things from various sources,
19 usually federal sources since we model each state.

20 And so we'll go over each sector.

21 So first we have the residential sector. It
22 includes all dwellings. The main factors are weather, and
23 that's basically heating degree days, since heating homes
24 and individual domiciles are mainly driven by that demand
25 in terms of cold days.

1 Population is one of the main factors in
2 residential since our population needs more dwellings. We
3 use the most recent state census data to do that. And
4 that's also pulled from states and into future forecasts
5 from the census.

6 Natural gas prices, of course, because once
7 that's lower, then the demand usually rises.

8 Income, which is mainly just we use GDP.

9 And then also heating oil prices since it's the
10 other major competitor to natural gas with heating the
11 residential sector.

12 So next we have the commercial sector and this is
13 also in part driven by weather, although less so than a
14 residential case since the commercial sector is presumably
15 -- you know, things are not -- buildings are not inhabited
16 throughout the night or during --

17 COMMISSIONER McALLISTER: Quick question.

18 MR. GULLIKSEN: Yes.

19 COMMISSIONER McALLISTER: On both cases for
20 residential and commercial, you've called out heating oil
21 price --

22 MR. GULLIKSEN: Yes.

23 COMMISSIONER McALLISTER: -- as sort of an input.
24 So how prevalent -- or I guess what's the influence of
25 heating oil price in this model? I mean how prevalent --

1 there's not a lot of heating oil happening in California.

2 MR. GULLIKSEN: Sure, yeah. But since we're
3 having to do national data, so a lot of times in places
4 that are not -- that are either older buildings or places
5 that -- many places do not have a natural gas service,
6 there's -- and so it's kind of the major competitor to
7 natural gas price.

8 If there's -- there might be some places that
9 have either both and could presumably switch as an
10 alternative.

11 COMMISSIONER McALLISTER: This is a market
12 competitor that's --

13 MR. GULLIKSEN: Yeah. And it's --

14 COMMISSIONER McALLISTER: -- (indiscernible) the
15 retail natural gas price.

16 MR. GULLIKSEN: Yeah, and it's not everywhere
17 obviously, but it's just in some places it can be a
18 competitor to natural gas.

19 COMMISSIONER McALLISTER: Okay. Thanks.

20 MR. GULLIKSEN: And of course -- so anyway,
21 weather is not as much as a determiner due to the fact that
22 it's not -- that commercial buildings are not normally
23 inhabited throughout the night.

24 And of course we have population. More
25 population means more commercial buildings are needed.

1 Income again.

2 Natural gas price of course because that's what
3 we're modeling.

4 And so next we have the industrial sector. One
5 of the -- the biggest prominent factor in the industrial
6 sector is obviously industrial production, everything from
7 food preparation and processing to refineries. Mostly this
8 is either from something you need to provide heat to or on-
9 site energy generation.

10 And, again, weather is a smaller factor, and this
11 is because there are less employee areas or the employee
12 areas may not be as controlled or as numerous as either
13 residential or commercial buildings.

14 And again natural gas price is the major factor
15 in this since it's the big determiner. Higher price means
16 less demand and lower price.

17 Then we have finally the electrical generation
18 sector. In this case, the weather is -- weather in this
19 case is determined by the cooling degree days since power
20 for air conditioning is necessary and of course drives the
21 power generator to want to -- have need to produce more
22 electricity.

23 One of the main -- and of course natural gas
24 price. Fuel oil, again, as a competitor. Renewable
25 generation as a competitor. And coal prices, coal as a

1 competitor.

2 So the competitors obviously will -- if they're
3 lower priced than natural gas price or it's higher -- or
4 natural gas price is higher, then it's going to depress
5 demand and vice versa for natural gas prices.

6 And we also have a transportation sector that we
7 do, but compared to these other four, it's very, very small
8 and doesn't really carry as much.

9 VICE CHAIR SCOTT: Robert --

10 MR. GULLIKSEN: Yes.

11 VICE CHAIR SCOTT: -- how you can tease out the
12 differences between some national numbers where it might be
13 easier on your previous slide for folks to switch from a
14 natural gas to coal or to fuel oil versus in California
15 where they probably don't have the option to switch as
16 much.

17 So can we kind of tease out the California trends
18 from the national trends with those prices?

19 MR. GULLIKSEN: Well, each of our -- when we
20 calculate the prices with it, we take it from either --
21 usually federal data.

22 So we have a set of -- basically we take the
23 national data and we split among the states, the prices.
24 And mostly they're -- but in some cases I believe we might
25 have some different ways they're split up or their

1 proportioned I believe. I might be mistaken.

2 But mostly it's just -- I thought it was like an
3 overall as a competitor.

4 VICE CHAIR SCOTT: So we're really just looking
5 at national trends there.

6 MR. GULLIKSEN: Yeah, and we have -- the output
7 does do state by state annually. But, yeah, I have to look
8 at that.

9 So the way that we use our little "m" data is to
10 put it into our natural gas input and so it basically
11 provides a baseline, the reference demand for each time
12 period, so for each year in this case, for each demand
13 region defined in the natural gas model.

14 So, for example, each state will have demand
15 nodes, one of each of the four major and of course the
16 transportation as well. And basically we break those up in
17 some states.

18 For example, things like New York, for example,
19 is split into the major like Long Island, New York City,
20 upstate, east/west, because there's so much population
21 density. And so we basically have a process to break out
22 the data and plug it into the demand nodes of "m" gas.

23 And so each of those, and then from there, the
24 "m" gas of course continues to model onwards, considering
25 supply pipelines -- supply, pipeline developments and the

1 price fluctuations and it tweaks it from there.

2 And there's one thing about the -- that
3 California WECC states' electrical demand, on this slide I
4 did not put electrical demand but -- this is only
5 electrical data -- is supplied by our PLEXOS modeling for
6 10 years. And so it's a fixed amount in all of the power
7 demand.

8 So out 10 years and then we use those 10 years to
9 then go from there to extrapolate from that 10-year data.

10 So in that case, for California WECC data and
11 WECC states, the little "m" data is not used, at least for
12 power demand.

13 And then -- so one of the big recent updates
14 we're most proud of is the updating of our cooling and
15 heating degree day with climate change data in
16 consideration. Basically it incorporates past climate data
17 as well as modeled future cooling/heating degree days out
18 to 2025.

19 It uses upgraded population data from the 2010
20 census which was the last -- and it's population weighted
21 for either the top three metropolitan areas with at least
22 80 percent of the state population or the five most
23 populated metro areas of each state.

24 And it was sourced from the Energy Commission's
25 research and development division and we also did some

1 update on alternatives for coal, which can help with the
2 competitive things and which has less importance obviously.

3 COMMISSIONER McALLISTER: Hey, Robert, have you
4 done any scenarios on climate data to see how that's likely
5 to influence the natural gas demand over time?

6 MR. GULLIKSEN: I haven't done that as of yet.
7 That's one of the things I need to look into.

8 COMMISSIONER McALLISTER: It would be nice to
9 sort of capture the scientific conversation about where
10 things might be going. I mean it's a long way out so
11 things may end up in different places.

12 MR. GULLIKSEN: Yes, certainly.

13 COMMISSIONER McALLISTER: And then also a
14 question on heat rates for coal. What influences -- I mean
15 presumably they're -- well, actually which direction are
16 they even going, I guess is the question. Are they getting
17 better, are they getting worse, you know?

18 MR. GULLIKSEN: I haven't looked at it in a while
19 but I certainly can get back to you on that.

20 COMMISSIONER McALLISTER: Yes, it would nice to
21 know sort of where that markets is going in terms of its
22 efficiency as we're seeing all these retirements and what
23 that's impacting, how that's impacting.

24 MR. GULLIKSEN: All right. So now we're going to
25 just go over the changes that we saw.

1 So the original is in the blueline and our
2 updated on one is the redline. And now we can actually see
3 at least -- it's hard to see in this case since the heating
4 degree days don't seem to change much, but they have a
5 general downward trend instead of a -- and before what we
6 were doing was -- from the original draft was to take a 25-
7 year average from the most recent outward.

8 And this was from our -- from last cycle. So the
9 updated one actually has a nice downward trend, and this
10 makes sense because there would be less days that are cold
11 enough to need -- a need heating demand.

12 And of course our cooling degree data has a nice
13 upward trend, which makes sense considering there would be
14 more days needed -- with cooling might be needed, more warm
15 days.

16 And it closely follows the data until about our
17 last comparison where it begins to trend upward which is
18 better than using the -- on average what we were using
19 before, which sort of makes everything the same.

20 So future updates that we're going to start doing
21 is re-addressing our regression equations and that sort of
22 thing, just to make sure there's any tweaks that might be
23 necessary to better model demand.

24 We're to investigate the historical, how far back
25 we'd like to go considering the changes from the recent so-

1 called fracking revolution after 2008. This is mostly
2 because the market changed so much after 2008 and the
3 introduction of fracking, that it might be worth looking
4 into the fact that instead of using linear regression from
5 1986, since things were so different, it might be worth
6 having a cutoff much closer.

7 COMMISSIONER McALLISTER: I'd like at some point
8 when you make some progress on that, get a briefing about
9 where you're landing on that.

10 MR. GULLIKSEN: Okay.

11 COMMISSIONER McALLISTER: Because it would be
12 nice to know, you know, where the discontinuity really lies
13 analytically and that -- it would be nice to kind of get
14 into that decision-making process at some point, when you
15 guys are ready.

16 MR. GULLIKSEN: Okay. And then what we wanted to
17 modify the little "m" to use the monthly time periods
18 instead of annually to support NAMGas monthly modeling.

19 And that's all I have for you today. Any
20 questions or comments?

21 COMMISSIONER McALLISTER: All right. I think
22 we're good. Thanks very much.

23 MR. GULLIKSEN: Thank you very much.

24 MS. RAITT: Thank you. So next is Angela
25 Tanghetti from the Energy Commission.

1 MS. TANGHETTI: Okay. Good morning.

2 So, again, the first part of this presentation is
3 going to be a repeat of what my colleague Richard Jensen
4 provided at the March 4th IEPR workshop on inputs and
5 assumptions.

6 I apologize also if I'm going to bounce between
7 comparisons of the 2017 IEPR update and then draft and
8 preliminary IEPR assumptions and results.

9 Let me just get to the next slide.

10 Since our modeling efforts are direct input for
11 NAMGas, we need to have our simulation results ready in
12 about the January time frame. So later in this
13 presentation, I'll share the results. I'll be referring to
14 them as draft, and that's what we presented at the March
15 4th workshop, as well as preliminary production cost model
16 results, which are the results of the new NAMGas prices
17 that we just got past recently.

18 The draft results I'll share are production cost
19 modeling results, again presented at the March 4th
20 workshop. And the preliminary results, again presented
21 today, only differ from those draft results by the burner
22 tip prices that Anthony has just described.

23 Our team uses -- the research tool for the
24 production cost modeling is the PLEXOS tool and these
25 provide the NAMGas team natural gas use for electric

1 generation in the Western interconnect.

2 Therefore, for NAMGas to provide natural gas
3 prices to present today, our team provided the PLEXOS draft
4 results presented at the March 4th workshop.

5 The results I'm presenting today are basically
6 going to demonstrate this iteration process between PLEXOS
7 and the NAMGas models. And more iterations are needed
8 before the next Outlook workshop where we will be
9 presenting results not only based on this iteration but
10 also based on the preliminary IEPR 2019 demand forecast
11 that's expected in about August of this year.

12 So, again, when you see "draft" in this
13 presentation, that will refer to the results Richard and I
14 presented during the March 4th workshop, while
15 "preliminary" will refer to our first iterations with the
16 NAMGas model for burner tip price projection.

17 So, again, let's see, the first five bullets up
18 there are -- four bullets are basically unchanged from the
19 March 4th workshop. The last two bullets, I'm going to
20 provide what we presented on March 4th and then also
21 preliminary results today.

22 So with that, I just want to remind stakeholders
23 and Commissioners of the key demand and RPS assumption
24 drivers included in the PLEXOS common cases. The
25 assumptions are consistent with SB 350 and SB 100.

1 So, again, the high energy consumption case is
2 characterized by low prices while the low energy
3 consumption case is characterized by high prices.

4 So, again, these are some of the other key
5 drivers for demand and RPS and those common case
6 assumptions.

7 Again, these are links to the demand forecasts
8 and our PLEXOS model. Richard went over those at the March
9 4th workshop, and they're available at these links.

10 Again, our demand office does provide hourly
11 profiles for the -- so balancing authority area LSEs in
12 California, and those do include the impact of climate
13 change.

14 So you were asking about the impact of climate
15 change. So we definitely see on an hourly basis in each
16 year those projections either increasing or decreasing,
17 given the hour, to account for climate change.

18 Unfortunately, we don't have -- as our knowledge
19 base gets further out of California, we are not able to
20 quantify those impacts and our demand forecasts at this
21 time for regions outside of California. But we do
22 incorporate them for California, which is a major portion
23 of the WECC as well.

24 For regions outside of California where we don't
25 have the luxury of getting the hourly demand forecast,

1 we've developed a load shape tool that takes five years'
2 worth of historic data and creates a synthetic load shape
3 on this.

4 It's about a 20-year-old tool, but the technique
5 is still robust. The only thing that we do differently now
6 is we adjust those load shapes for behind-the-meter PV and
7 AAEF so we can capture peak shifts in those forecasts.

8 Again, this is what we presented at the March 4th
9 workshop. The red bars being the demand forecasts that
10 we're assuming for regions outside of California, and we
11 gather that from the anchor data set which WECC puts
12 together and then we interpolate -- or extrapolate, excuse
13 me, to get to 2029 and '30. For the years in between, we
14 interpolate from the last historic year to their 2028
15 anchor data set.

16 For retirements, again, this is unchanged from
17 our March 4th workshop. The only change you're going to
18 see in these simulation results later on are the burner tip
19 prices.

20 So, again, we look at the OTC compliance
21 schedule, the CAISO retired and mothball list. We refer to
22 subscription databases, trade press. We have a 40-year-old
23 rule for resources in California if they reach 40 years of
24 age and they don't have a contract, and their thermal
25 resources, they are retired during the forecast period.

1 And then we also rely on the WECC anchor data set.

2 Again, these compliance cases, these resource
3 builds or retirements are common to all the cases. There's
4 not one with more retirements than the other.

5 Let's see, the next slide, again, is our resource
6 assumptions for -- or retirement assumptions for California
7 and the rest of the WECC. As you can see, in 2019 there is
8 a projection of a large amount of coal retiring in 2019.
9 And the majority of that is from the Navajo plant which is
10 expected to retire at the end of 2019, and that still seems
11 like it's on track for retirement this year.

12 Again, by the end of the forecast -- WECC
13 includes, you know, Alberta, so there's significant coal
14 retirements in Alberta. The California natural gas fleet
15 is second largest in the retirement scheme for the West.

16 Our additions. Thermal and renewable additions
17 also come from a variety of sources where we are able to
18 verify them from not just one but from multiple sources.

19 So our team considers the source when we are
20 looking at the addition and if it appears in more than one
21 of our sources. So if just appears in a single source of a
22 trade press and we can't find it anywhere else, we don't
23 consider it robust enough to include as an addition.

24 The CPUC and CEC IRPs have provided the majority
25 of California renewable additions in this version of

1 simulation results where the WECC anchor data set, as well
2 as utility IRPs for regions outside of California, kind of
3 round out our renewable and thermal portfolio builds for
4 the rest of the WECC.

5 Again, this is unchanged for the assumptions we
6 presented at our March 4th workshop, and these are
7 projections for the existing renewable portfolio in our
8 current year, which is 2019. So you look at 2019 and this
9 is basically the current portfolio as we know it today for
10 in-state only resources.

11 For the mid demand case, we assume that
12 California will continue to procure about 30 percent of
13 renewable energy to meet the RPS from resources located
14 outside of California.

15 For the low demand case, we assume that about 15
16 to 20 percent of imported energy will be needed to meet the
17 RPS.

18 And the high demand case, we assume -- we rely a
19 bit more on our neighbors for out-of-state imports to meet
20 the RPS, so about 35 to 38 percent of imports are needed to
21 meet the California RPS in the high demand case.

22 A key driver in the productions for natural gas
23 demand for electric generation is hydro generation. Our
24 hydro generations are based on a rolling average of the
25 prior 15 years. Hydro generation, the greenish line is

1 what we're assuming for average hydro generations in the
2 simulation results we're presented today.

3 2017 is what many consider an above average hydro
4 generation year, and 2015 is what many consider a very low
5 hydro generation year.

6 It's also important when somebody provides you
7 historical gas use for electric generation to consider the
8 hydro generation year in that historic year. If you
9 compare 2015 to 2017 gas use for electric generation, you
10 can explain some of the variation not just on demand but
11 what is the hydro generation in those years.

12 So it's really important when you're looking at
13 historic gas use to understand the historic hydro
14 generation in those years.

15 Our monthly projections for the rest of the WECC,
16 average hydro are shown in the red line. I think next time
17 that I want to present high and low hydro generation for
18 out-of-state just to kind of round it out.

19 It will be interesting to see if 2015 and 2017
20 are also coinciding in California, because what we found is
21 that you can't always -- when it's dry in California, it
22 doesn't always mean it's dry in the Northwest, so it would
23 be interesting to see the variation in those forecasts
24 those years. So for the next workshop we'll add that data
25 to the slide.

1 Okay.

2 COMMISSIONER McALLISTER: Are you looking at
3 snowpack? Like this year looks like in California,
4 resources are going to be relatively robust.

5 MS. TANGHETTI: Oh, we don't generally look at
6 snowpack. What we look at is actual hydro generation, so
7 it's interesting because snowpack kind of depends sometimes
8 when it accumulates. So whether the runoff will come
9 early, whether it's really hot in May or it's not a hot May
10 -- so that's why we tend to look more at just strictly the
11 generation and not the snowpack.

12 COMMISSIONER McALLISTER: Okay.

13 MS. TANGHETTI: Okay. Now, for the key drivers
14 that have changed since the March 4th input and assumptions
15 for PLEXOS.

16 Sorry, the slide shows March 5th but it was
17 actually the March 4th workshop date. So if any
18 stakeholder is looking for that, you need to look at our
19 website for the March 4th.

20 As Anthony already described for you, the near-
21 term price projections are much closer to the mid than they
22 were in the draft prices. So the draft prices on in the
23 lower half of the screen. The preliminary prices are what
24 we're using right now.

25 So if you look at the year 2020, the high and the

1 low energy consumption cases are much closer to the mid
2 year 2020. So we don't have that big spread starting in
3 2020, like the high prices don't get very high and the low
4 prices don't get very low in 2020. So they're closer to
5 the mid, and they do spread out by the end of the forecast
6 period but not nearly as great as in the draft prices that
7 we used earlier in our simulations.

8 So, again, the burner tip price projections are
9 generally lower in all three cases. And this does have an
10 interesting implications for both in-state and out-of-state
11 gas use for electric generation for both the near term and
12 long run.

13 There many more burner tip pricing hubs that we
14 include in PLEXOS, but we chose a few that just either are
15 trading neighbors that are very close or else they're large
16 consumers, like Colorado is a large consumer of gas for
17 electric generation in the WECC.

18 So these are a few of the burner tip prices, but
19 there are many more out there that we use in our simulation
20 tool.

21 Okay. Now, for the draft simulation results and
22 the preliminary.

23 The draft simulation results presented at the
24 March 4th workshop are characterized by the dashed set of
25 line. So, again, high is always in the green but the

1 dashed is what we presented earlier and that are in these
2 NAMGas simulations.

3 And then the solid lines are a result of these
4 new prices. So as you can see, they're generally lower in
5 these simulations and it's strictly based on the
6 differences in gas price.

7 The crossover after about 2027 is due to price
8 projections as well as our assumptions about RPS imports.
9 The low demand case assumes most of the RPS generation will
10 come from in-state resources. So in-state gas is actually
11 cheaper right now to form and shape these renewables.

12 The low demand case also has higher gas prices,
13 which creates a shift for out-of-state gas to coal since
14 coal is now significantly cheaper than gas generation.
15 Since California cannot import generation from coal, more
16 generation is coming from these in-state resources.

17 You asked earlier about looking at the shift
18 between locally -- not locally but not nationwide. If you
19 want to look at it from California WECC-wide perspective,
20 we can see the impact of the price differential between gas
21 and coal and when you shift from gas to coal at what price
22 differential there is.

23 If you look back at the slide at the draft prices
24 we use, sometimes you'll see \$8 gas prices, and that high
25 of a gas price does create a shift in the WECC to

1 additional coal generation.

2 So let's look at that from a WECC-wide
3 perspective just from gas use. And while the lowering of
4 gas generation in California, we observe a higher starting
5 point for gas use outside of California.

6 Interestingly, the low demand case now has a
7 downward trend since the spread between near-term natural
8 gas and coal prices is not as great as we observed in the
9 draft price projections. So earlier, there was a bigger
10 differential so we saw more of a shift.

11 Basically, the low demand case simulation results
12 are projecting a higher starting point than the draft
13 results presented at the March 4th workshop.

14 In the coming weeks, we will definitely be
15 iterating with the NAMGas team on natural gas price
16 projections. And we're expecting to see less and less a
17 change from each case.

18 For the next workshop what we plan to present are
19 these final iterations of the NAMGas and PLEXOS results.
20 And then in addition to that, we're going to have the draft
21 or the preliminary IEPR demand forecast, so we'll be able
22 to see just the iteration result between PLEXOS and NAMGas,
23 so we'll be able to see the impact of prices on electric
24 generation and then we will also be able to see the impact
25 of our new demand projections on any kind of impact for

1 gas.

2 COMMISSIONER McALLISTER: Angela, could you -- I
3 might have missed it, but could you talk about the
4 different -- particular with the low scenario, between the
5 draft and the preliminary in terms of -- it looks like
6 about 30 percent higher usage in 2020.

7 MS. TANGHETTI: Yeah. So in the low demand case,
8 the price variation in the first year started out very
9 different like the high -- the low demand case is
10 characterized by high prices and they started out high in
11 2020.

12 So when they started out so high in 2020, you got
13 a definite shift to coal in that year.

14 COMMISSIONER McALLISTER: Okay.

15 MS. TANGHETTI: So when we start looking at GHG
16 results, you're going to see -- from a WECC-wide
17 perspective, you're going to be able to see like the GHG
18 results in the draft were much higher than they are in
19 these current simulations just because we had a big shift
20 to coal because our gas prices started out so high.

21 COMMISSIONER McALLISTER: Okay. So you've got
22 the gas here, but in terms of greenhouse gases, obviously -
23 -

24 MS. TANGHETTI: It will look like something
25 different.

1 COMMISSIONER McALLISTER: -- it looks actually
2 better.

3 MS. TANGHETTI: Yeah, it does look better. Even
4 though we have more gas early on, the GHGs are --
5 implications are lower.

6 And it's interesting because we use EIA for our
7 gas price projections, the Annual Energy Outlook. And in
8 between cases, they have eight cases of coal prices, but
9 there's very little range in those coal prices. No matter
10 whether you're looking at high economic growth or low
11 economic growth or high or low technology, coal prices are
12 just kind of flat through the forecast period.

13 So when we do have significant change in gas
14 prices, we do see a shift in the rest of the WECC.

15 So, again, as you asked, the price impacts -- I
16 think what we'll do next time for the next presentation is
17 provide gas -- excuse me, coal generation, coal use for
18 electric generation for all the three demand cases so we
19 can also see the spread in WECC-wide coal use.

20 Because with SB 100 we're supposed try to
21 understand any leakage so it will be interesting to start
22 looking at coal generation notches, GHG projections as --

23 COMMISSIONER McALLISTER: Yes, exactly. I mean
24 at some point -- I mean this is may be a conversation for
25 another day. But there's a -- if we're going to meet our

1 SB 100 goals there's going to have to be some pretty
2 muscular policy along the way.

3 And so we may have lots of natural gas and
4 revolution and fracking and all that and low gas prices,
5 but we may have mandates not to use that gas or some
6 pathway that is a low gas pathway that's more driven by
7 policy than it is by price.

8 MS. TANGHETTI: Exactly.

9 COMMISSIONER McALLISTER: So I think that's going
10 to be sort of turning some of this on its head, which will
11 be interesting to figure out how to model and embrace.

12 MS. TANGHETTI: It's really interesting and a
13 challenge to model now, because when we start looking at
14 planning reserve margin in the future and we keep pulling
15 out our gas plants, I have nothing in my quiver to put in
16 there -- say, if you start looking at building
17 electrification at 5 o'clock in the morning, all I have is
18 storage. I don't have -- there's no solar, there's no
19 wind. So I'm looking at storage.

20 So that's the only little tool in my quiver that
21 I have right now to meet a load at those low hours that are
22 GHG.

23 COMMISSIONER McALLISTER: Yeah, and policy has to
24 step in and try to give you more tools.

25 So I think the next five years is going to be

1 interesting.

2 MS. TANGHETTI: Yeah, this has been really
3 intriguing. It's fun to share these results and hear your
4 questions so that we know better how to tailor our
5 presentation for next time, because we've never thought of
6 looking at coal use for electric generation, but I think
7 it's something that we really need to -- and we have the
8 tools to do it and we have the data so we'll be happy to
9 package it up for next time.

10 Okay. Now GHG projections. So, again, just
11 because we have a crossover in gas use doesn't mean we have
12 a crossover in GHG projections. They are on the downward
13 trend, definitely. But when you quantify imports into the
14 GHG calculation, then you see this still separate trend
15 between mid, low and high.

16 And I didn't going into detail about the GHG
17 counting from the March 4th workshop, but stakeholders are
18 -- I left the link in there so if you want to look at the
19 methodology that we developed to quantify emissions on
20 imports, that data is all there.

21 I didn't do a chart for the WECC-wide
22 perspective, but again, your question -- if you look at the
23 draft, which is in the lower half of the screen, the draft
24 low projections, again, you looked at that big jump in gas
25 use for the rest of the WECC. But, again, it has lower

1 projections in this round because we don't have the coal to
2 gas switching earlier in the forecast period.

3 So even though we're using much more gas in our
4 preliminary low demand case, the emissions are much lower.
5 So you can see the tradeoff there. So the lower chart is
6 really kind of counterintuitive but was really a tradeoff
7 since the gas prices were so high early in the forecast
8 period. We were definitely generating with a lot more coal
9 in that time period.

10 So, again, we have less near-term variability
11 between mid, low and high burner tip gas price projections,
12 so that leaves us with the 2020 projections more in line
13 with what we'd expect for mid, low and high, less coal to
14 gas generation switching in both the long run and near term
15 drew less variation between the coal and the gas burner tip
16 price projections.

17 And the preliminary high is just flatter GHG
18 trajectory due to lower near-term burner tip prices. So,
19 again, the high demand case doesn't have as low prices
20 early on so we don't nearly as much gas use.

21 VICE CHAIR SCOTT: Angela, do you have a sense of
22 where the 40 percent below 1990 levels line would cut
23 across here? Or is that something that we -- so WECC-wide
24 probably not referred but the California portion of that,
25 it be interesting to know if preliminary low, mid and high

1 are all way above it, approaching it, you know, below it.
2 It would be interesting to have that data point I think.

3 MS. TANGHETTI: That's an interesting question
4 because the 40 percent is from an economy-wide perspective.

5 VICE CHAIR SCOTT: Yeah.

6 MS. TANGHETTI: When we look at the electric
7 sector, we look -- oh, hey, we look great. But from an
8 economy-wide, it's hard to fit that in because we're only -
9 - if the pathways tool is something that can look at that,
10 but again this is only the electric sector.

11 And, again, this is without significant
12 electrification. We're going to wait to see that in the
13 preliminary demand forecast that's coming out in August of
14 this year. And maybe by 2030, we will see some additional
15 significant electrification, building electrification -- or
16 building fuel switching, is that the right -- fuel
17 substitution.

18 COMMISSIONER McALLISTER: The term of art these
19 days is "decarbonization."

20 MS. TANGHETTI: Decarbonization, okay. So that's
21 what we will be looking for in order to incorporate there.

22 So, you know, from just a strictly electric
23 sector perspective, we can say yes. But from a sector-wide
24 perspective that's a number that we can't quantify right
25 now.

1 So that's all I have for now until the next
2 iteration.

3 COMMISSIONER McALLISTER: Thanks, Angela.

4 MS. RAITT: Thank you.

5 So next we have Jonathan Bromson from the
6 California Public Utilities Commission.

7 MR. BROMSON: Good morning. My name is Jonathan
8 Bromson. I am an attorney with the California Public
9 Utilities Commission.

10 My colleague Jamie Ormond was invited to present
11 today but could not be here. She has been the policy
12 person spearheading biomethane and renewable natural gas
13 efforts for the last year and a half at the Commission.
14 She is extremely enthusiastic and very fun to work with. I
15 will try to channel her today.

16 I personally have worked on natural gas for the
17 Commission for almost 20 years representing the Commission
18 at the Federal Energy Regulatory Commission on interstate
19 pipeline matters, advising Commissioners more recently on
20 reliability issues, particularly the Southern California
21 gas infrastructure issues, but a whole wide range of gas
22 issues including biomethane for the last year and a half.

23 I also have some background with what is now
24 known as California Advocates or Public Advocates. It used
25 to be known as the Office of Ratepayer Advocates. I

1 represented them in the initial rulemaking that I will talk
2 about briefly, which is Rulemaking 13-02-008, so I can't
3 advise the Commissioners on that one because I'm conflicted
4 out.

5 But I have a reasonably long background with
6 natural gas, and we are excited both in the state and at
7 the Commission that renewable natural gas in various forms
8 is now mandated to be used. You know, the electric sector
9 has for very good reason captured most of the attention
10 because of the switch to renewables.

11 It is exciting for the natural gas world and new
12 to have natural gas sources that are considered more
13 environmentally beneficial and particularly because of
14 avoiding either direct venting or flaring into the
15 atmosphere. And it's crucially important for the state
16 policy to capture that gas and use it beneficially.

17 So just to -- I don't want to define these terms.
18 It's an umbrella of terms here. You know, renewable
19 natural gas comprises biomethane and renewable methane. It
20 also comprises hydrogen sources, which is electrolyzing
21 hydrogen from renewable electricity.

22 We're not going to get -- I've included some
23 slides here. Jamie is very much enthusiastic about our
24 hydrogen efforts. They're not the most direct efforts that
25 we're working on now, but it's the next phase of work that

1 we are doing.

2 But in terms of summarizing the efforts that we
3 have done to date at the Commission, you know, hydrogen is
4 sort of the next thing.

5 There's been a lot of legislation over the last
6 several years to encourage and mandate interconnection and
7 use of renewable natural gas and biomethane in California.
8 It started with AB 1900 in 2012 to develop biomethane
9 pipeline injection standards. It continued -- it's
10 accelerated over the last few years because the process has
11 taken a little bit of time.

12 Senate Bill 1383 in 2016 required the Commission
13 to develop at least five dairy biomethane pipeline
14 interconnection projects to significantly increase the
15 production and use of in-state biomethane from dairy and
16 electric and transportation industries. And I'll talk a
17 little bit about those efforts.

18 SB 840 required the California Council of Science
19 and Technology, CCST, to take a deeper dive into the
20 heating value bands and the siloxane concentration within
21 biomethane to sort of look again at some of the findings
22 that the Commission had initially made in the rulemaking I
23 talked about earlier.

24 SB 2313 extended the end date for the
25 interconnection incentive program that had been started in

1 response to AB 1900.

2 SB 1440 of last year requested the Commission to
3 look into cost-effective renewable natural gas procurement,
4 to have core customers purchase renewable natural gas to
5 kick-start a market and increase demand.

6 AB 3187 continued sort of work on the renewable
7 natural gas interconnection.

8 And SB 1369 of last year required the Commission
9 to consider hydrogen as an energy storage source.

10 And let me also just thank you for -- I do a lot
11 of work that has economic consequences, so the modeling
12 that has been done here is very similar to modeling we see
13 both in-state and from wider use. So that sort of work is
14 really important for what we do.

15 We're not quite yet at the level of use of
16 renewable natural gas where that is impacting in the short
17 run prices. As we get -- you know, over the next decade
18 that is going to impact supply and prices, but how much is
19 still up in the air despite the policy goals and statute.

20 California imports about 95 percent of the fossil
21 natural gas that we use every day. Increasing in-state
22 biomethane will basically replace what is a declining in-
23 state natural gas -- you know, traditional natural gas
24 supply situation.

25 And as we know, the current California gas market

1 has been impacted by in-state infrastructure failures,
2 particularly in Southern California. The regulatory
3 actions that the state should take should help meet the
4 state emissions reduction goals.

5 And moving towards a system that flows a
6 decarbonized or zero carbon gas product could reduce system
7 and end-use carbon emissions and reduce a negative health
8 impact, increase jobs and enhance in-state system
9 reliability.

10 It is too early to tell how much RNG will be
11 introduced and when into the California supply. But
12 reducing waste gas from flaring directly into the
13 atmosphere, and instead putting it to beneficial use via
14 pipeline injection for use in electric and transportation
15 sectors, moves the state towards the short-lived climate
16 pollutant reduction goals. And we referenced the ARB's
17 reduction strategy from 2017.

18 Now, the dairy pilots -- there is a website here,
19 a link to CPUC website with renewable natural gas. That
20 has a whole bunch of -- more deeper dive summary materials
21 and beyond just our dairy pilot programs.

22 But we opened a rulemaking in June of 2017 in
23 response to SB 1383 to solicit and evaluate dairy pilot
24 projects. And we have chosen six dairy pilots, and I
25 didn't list them here but I do have a list of them

1 somewhere here.

2 Of course I can't find it now that I've prompted
3 myself.

4 But we chose six dairy pilot projects, and at the
5 moment we're reviewing the contracts for the purchase of
6 the dairy biomethane. The amount of -- the pilot projects
7 are all around the state. Most are in the Central Valley,
8 but one is up in Willows in Glenn County.

9 The six selected projects comprise a little less
10 than 6300 MMBtu a day. So the amount is negligible at this
11 point. And the total installation cost is not
12 insignificant. It's about \$132,000,000 because pipes are
13 expensive. And getting pipes from the dairies to larger
14 existing natural gas infrastructure within the state, that
15 is the largest amount of cost that we're going to be
16 dealing with.

17 And because there isn't that -- you know, pipes
18 are usually cost by miles. You know, thicker pipes, larger
19 quantity pipes cost a little bit more, but it's how long
20 you have to go. And so the up-front costs for a lot of
21 renewable natural gas are going to be a barrier. And so
22 having legislation that helps cover those costs is very key
23 for getting the gas onto the system.

24 The annual O&M costs are estimated to be fairly
25 low though, \$1.4 million. So once you get the pipes in the

1 ground, the marginal costs of running these facilities
2 isn't that much. So it's going to be key to helping
3 dairies and landfills and wastewater treatment plants get
4 connected to the system.

5 Now, in terms of influencing the market and the
6 market price at this point, the key is our incentive
7 programs from other government agencies.

8 California Air Resources Board provides low
9 carbon fuel standard credits, LCFS credits.

10 The federal EPA has renewable identification
11 number -- RIN numbers. And they provide a larger amount of
12 subsidy or credit towards the transportation sector because
13 the existing transportation sector, using gasoline, using
14 petroleum product, even just switching to traditional
15 natural gas provides significant benefits for air quality
16 and carbon emissions.

17 But when you use renewable natural gas, and
18 particularly dairy where you're avoiding so much emissions
19 directly into the atmosphere, the benefit of -- getting the
20 benefit of avoiding those emissions creates a large amount
21 of LCFS and RIN credits. And so that is low hanging fruit
22 of using renewable natural gas both in terms of its impact
23 and in terms of where the incentives are today.

24 Now, currently the CPUC is engaging in a number
25 of different ways with renewable natural gas. Southern

1 California Gas -- both the major utilities, which are
2 Southern California Gas Company and Pacific Gas and
3 Electric Company, have procurement pilots for use of
4 compressed natural gas pumps.

5 They both have pumps for their own fleets and to
6 the public for natural gas fueling vehicles, and now they
7 have pledged to switch to only using renewable natural gas
8 for use in vehicles.

9 And with the LCFS and the RIN credits, they are
10 in the money basically. It is cheaper to use renewable
11 natural gas than traditional natural gas.

12 Now, we know that the gas commodity is very cheap
13 and it's still expensive to transport the gas end-use
14 customers. But even with the gas commodity cost, these
15 credits make the gas cheaper.

16 We want to engage in renewable natural gas
17 pipeline interconnection tariff standardization throughout
18 the state. Southern California Gas and PG&E have different
19 historical models and have different tariff rules. They
20 may not be able to be totally standardized, but we would
21 like the industry to be able to know that whichever utility
22 they're interconnecting with -- and then Southwest Gas is
23 sort of the third largest of the investor-owned utilities.
24 We would like them to be able to know what they're dealing
25 with, but as I say, history has meant that they have had

1 some differences.

2 The most recent application to the Commission
3 that impacts procurement is Southern California Gas's
4 voluntary opt-in RNG tariff. It's Application 19-02015.

5 Because of the PG&E bankruptcy, PG&E has not yet
6 made their own proposal. They have formally supported the
7 SoCalGas tariff. SoCalGas is modeling it on some of the
8 electric efforts that give customers choice to choose more
9 environmentally responsible products. So core residential
10 customers would choose how much maximum dollars per month
11 they would assign for RNG purposes -- I mean purchases.
12 And commercial industrial customers would choose a dollar
13 amount or percentage of gas use.

14 Now, we don't know how much gas that is going to
15 incentivize, and this is a pending application before the
16 Commission. We don't know what exactly we will adopt and
17 whether we would do something differently or not. But this
18 is a start. And we have to -- we have been required to
19 consider procurement mandates for core customers.

20 The Commission has jurisdiction over the retail
21 market but not the wholesale market. And larger industrial
22 and commercial customers -- it's arguable that we can't
23 require them as the Commission, as the CPUC, to purchase
24 renewable natural gas as a condition of using the pipeline
25 system which is open access, but obviously other state

1 agencies and policies can.

2 And the RIN credits and LCFS and other economic
3 incentives can also help them.

4 We are going to be looking at biomethane
5 constituents of concerns when they're updated in July 2019
6 and that has to do with heating value and siloxanes and
7 other factors. And we are hopefully going to be
8 considering hydrogen injection standards and further
9 renewable gas procurement standards as time goes on.

10 Now, the next two slides start to deal -- I am
11 not as familiar with hydrogen as Jamie is, but throughout
12 Europe and other places in the United States, there is an
13 increasing push to use renewable electricity to generate
14 hydrogen.

15 Hydrogen gas can be injected into the pipeline
16 system and could be seen as a form of storing renewable
17 energy for electric generation and other uses, given the
18 difficulties of electric storage and the ability of the
19 pipeline system to provide storage through packing and
20 through natural gas storage facilities.

21 When hydrogen is used as a power source, the only
22 byproduct is water. No carbon dioxide is emitted. So the
23 key is whether or not that electricity can be generated
24 from a renewable source. And if it's from a renewable
25 source, then the hydrogen that is electrolyzed can be

1 considered renewable hydrogen and can add to the state's
2 plethora of options to provide renewable natural gas.

3 There was a discussion recently -- you mentioned
4 building decarbonization. There is a debate within the
5 building decarbonization proceeding about whether or not
6 renewable natural gas should be considered. And I'm
7 agnostic on that debate and that's not for me to discuss.

8 The CEC and other stakeholders are clearly going
9 to weigh in, but the -- since the task we have is so large,
10 it would seem with the renewable natural gas mandates, that
11 to the extent that we're going to rely on natural gas for
12 heating uses in homes and so forth, that it will be
13 renewable natural gas, the growth of it is going to
14 increasingly be important for the state to meet its long-
15 term climate goals.

16 The CPUC, as we look at hydrogen issues, will
17 look at production and electricity rates, transportation
18 within the pipeline system and then storage, you know, in
19 pipelines, in things like salt mines, in blended gases.

20 And there can be a seasonal time shifting of
21 renewable electricity via storage in the pipeline system.

22 I'm not going to go through -- there's a couple
23 more slides here, again, about hydrogen. There are still a
24 lot of safety questions about hydrogen, about blending
25 hydrogen with natural gas within the pipeline system that

1 the state's going to need to examine.

2 Safety issues have of course been a much higher
3 level of concern since the San Bruno incident in 2010 and
4 with the leak at Aliso Canyon in 2015. And these concerns
5 are paramount for the Commission.

6 Just in terms of proceedings dealing with the
7 hydrogen aspect Rulemaking 13-02-008, which was the
8 biomethane injection proceeding, that is still ongoing at
9 the Commission and has some proposed decisions dealing with
10 the heating value and siloxane content at the moment. And
11 parties in that proceeding were the first to bring up,
12 well, we should also be looking at hydrogen.

13 There's a relatively new rule-making from
14 December of 2018 to investigate electric rates to produce
15 hydrogen and there is the SB 1369 bill from last year to --
16 that hydrogen is to be considered storage.

17 And, again, some statistics and information about
18 how hydrogen has been progressing within the state. In
19 2013 was \$20,000,000 provided annually in AB 8 for hydrogen
20 refueling stations.

21 Former Governor Jerry Brown's Executive Order
22 anticipated 5,000,000 zero electric vehicles by 2030. And
23 so there was a goal of a certain amount of hydrogen fueling
24 stations.

25 By the end of 2018, 39 hydrogen refueling

1 stations, including one privately funded, are open to the
2 public. And currently another 26 stations are funded and
3 in various stages of development.

4 I think the key to looking at RNG right now is
5 we're in a push-and-pull situation. We don't have that
6 much renewable natural gas that is interconnected into the
7 system, but the transportation initiative, switching
8 natural gas fueled vehicles within the state, both the
9 fleet vehicles for the utilities and the public vehicles
10 that use the infrastructure, converting them to renewable
11 natural gas is a big start for encouraging the market.

12 Getting the dairy biomethane projects
13 interconnected and selling gas is another factor.

14 But the key will be having goals for core
15 procurement where our Commission, my Commission can require
16 core customers to purchase a certain amount of biomethane
17 or first starting with encouraging them to make that
18 choice.

19 That's going to be where the market can gain some
20 traction and get data and information about prices. We are
21 dealing with a low price market. And as the projections of
22 the market seem to indicate, when there is low prices, you
23 have natural gas use. But when there is low prices, it's
24 harder for renewable natural gas to compete.

25 But that said, these aren't just purely price

1 considerations. And as we price in the carbon equivalent
2 impacts of using natural gas into the pricing mechanisms,
3 we're going to increase the use of renewable natural gas.
4 And it is going to come from government programs.

5 And that is it for now. Thank you.

6 And I'm more than willing to answer any questions
7 and also engage in any debate about the market projections
8 because I think they were very good and, as I say,
9 consistent with what we monitor when we're trying to look
10 in the future at procurement for core and what electric
11 prices are.

12 COMMISSIONER McALLISTER: Thanks very much.
13 That's super, super helpful.

14 MR. BROMSON: You're welcome.

15 COMMISSIONER McALLISTER: Yeah, good stuff. And
16 I do have a few questions.

17 I think this RNG discussion, there's a lot of
18 fuzziness around it and I think it's part of the -- you
19 mentioned, and we don't need to probe it, but the fact that
20 there's kind of -- you know, there's electrification over
21 here and there's kind of really -- RNG over here. And it's
22 sort of near the two shall meet, right?

23 And so getting into the middle of that discussion
24 and really sort of navigating this is partly our
25 Commission's role and obviously it gets litigated in a lot

1 of important ways, rates, et cetera, over in your
2 Commission.

3 So I think really we have to work together to
4 navigate this discussion in a way that's responsible and
5 doesn't sort of project that we are picking winners but
6 really kind of lets things move forward in a rational way.

7 Having said that, we've got two large expensive
8 infrastructures, and what is going to be the long-term
9 interaction between those two I think is a huge open
10 question that we really have to delve into.

11 So you mentioned the cleanup standards that
12 you're working on. Is that really about siloxanes or is
13 there other --

14 MR. BROMSON: I think it's really more about
15 heating value. I mean what happened over time at the
16 Commission -- pure methane is 1,000 BTUs per cubic foot.
17 And also natural gas is a little higher than that because
18 it contains ethane, butane and some higher fuel content.
19 And about 1030, 1035 is the average fuel content of natural
20 gas nationwide and in California. And end-use appliances
21 are attuned to a certain range.

22 And then -- but to get the water out of
23 biomethane, particularly dairy biomethane, is very costly.
24 The more that you get out the higher the heating value
25 approaching about 1,000.

1 What happened when we were going to import
2 liquefied natural gas, when Southern California Gas Company
3 in particular, through their affiliates, Costa Azul,
4 Energia Costa Azul import facility that's now being
5 proposed to be an expert facility -- but they were supposed
6 to import a bunch of hotter gas, maybe about 2004 or '5 and
7 so they proposed increasing the minimum gas they could get
8 into their system from 970 to 990, and that was accepted by
9 the Commission at that point.

10 And that's a very high minimum level if you look at
11 the nationwide standards. And the biomethane community
12 wanted that number lowered, and that was part of the first
13 phase of R. 13-02-008, and the Commission didn't approve
14 it. And then the legislature wanted to have a neutral body
15 look at that and that's where they requested that the CCST
16 come in and provide a study. Their study came out I
17 believe at the end of last year where they recommended that
18 it could be lowered back to 970.

19 And you have to blend that 970 gas with higher
20 heat value gas to get to the end users. But because of the
21 amount of biomethane and the heating content of the other
22 gas, it's doable apparently.

23 And that's what the CCST has stated, when we have
24 two proposed decisions, at the moment, propose an alternate
25 that would lower that heating value back to 970. And I

1 think it will be received -- assuming one of those goes
2 through with that, will be received fairly well by the
3 biomethane industry. But it is slightly less heat content
4 -- I mean energy content.

5 COMMISSIONER McALLISTER: So this is really --
6 it's not so much about toxics and sort of combustion
7 byproducts and things like that anymore, because the last
8 time I sort of aware of this, it was more about what was
9 coming out of the landfills.

10 MR. BROMSON: Well, the landfills do have -- I
11 mean for dairy biomethane, it's not about the
12 concentrations. For landfills, it can be.

13 And I don't know the details of what we've
14 proposed for siloxanes, but there's a general consensus
15 that it can be cleaned up. But it is a problem. I mean
16 it's hair lotions and all these things that get -- we need
17 to be better as Californians in what we put in our
18 landfills, but that's easier said than done.

19 COMMISSIONER McALLISTER: But is that in the same
20 proceeding?

21 MR. BROMSON: That's in the same proceeding as
22 well. So there's a discussion of siloxanes and it's Phase
23 3 of R. 13-02-008 and as I say, there are proposed
24 decisions pending now. And I am not officially taking part
25 in that.

1 This is my personal observations, because as I
2 said, I once represented a party in that proceeding. So I
3 am no longer advising.

4 COMMISSIONER McALLISTER: No worries. I'm just
5 kind of interested in the latest, not in any sort of
6 rulemaking depth.

7 So who's paying for the collection of the
8 biomethane at the dairies, like in these pilot projects or
9 beyond that?

10 MR. BROMSON: Well, I mean --

11 COMMISSIONER McALLISTER: What are these projects
12 -- what are their boundaries, sort of participants and
13 who's funding? You guys are funding -- MR. BROMSON:
14 We are funding most of the costs. I mean when you sell
15 gas, the cost of selling the commodity covered the cost of
16 producing the commodity. And that usually includes the
17 cost of interconnecting to a pipeline system. What the
18 legislation did was to help cover those costs in other
19 transportation rates. And so you give a leg-up because
20 they're such high up-front costs. And all the costs are
21 going to be paid by ratepayers in this pilot project.

22 Going beyond the six pilots that we've chosen,
23 those costs are part of what when you sell the gas to an
24 end user, you get repaid for it. And when you have the
25 credits, depending -- either credits will go to the

1 producer and they can lower their costs, or certain credits
2 can go to the end user so they can add to the cost that
3 they pay.

4 So it's going to be a combination of through
5 utility rates and through direct bilateral contracting with
6 specific end users. And you have a number of industries
7 that are trying to step up and do the right thing, but also
8 we're looking out at RIN and LCSF credits and going, well,
9 we can do this.

10 So at this stage it's all -- I don't know exactly
11 to whom all the sales are being made for the dairies. But
12 they have markets for this gas. In the beginning it's
13 going to be easier because there are a number of industries
14 that are looking to do this. And then as we require core
15 customers to purchase a certain amount that will increase
16 the certainty for the marketers. And it's a chicken-and-
17 egg question, you know.

18 COMMISSIONER McALLISTER: That's kind of why I
19 asked, like the actual facilities on-site at the dairy,
20 like collecting all the manure and the digesters and all
21 that stuff.

22 MR. BROMSON: Yes. That will be -- most of those
23 costs are covered by the funds that I discussed, and the
24 costs that aren't will be covered by gas commodity sales.

25 COMMISSIONER McALLISTER: Okay. So they've got

1 financing packages that are putting all that together.

2 MR. BROMSON: Yes. At least for these dairy
3 biomethane projects, I think we're very comfortable that
4 they're going to be up and running and selling gas within a
5 couple of years or so.

6 But it does go through iterations. I mean the
7 initial -- we've updated -- the figures I provided in terms
8 of the gross amount of gas are updated figures, but they're
9 pilots. I mean I think that some of the -- you have to
10 have pilots and get projects in the ground.

11 COMMISSIONER McALLISTER: Yes, I'm not going to
12 press you about, okay, so what's the overall, what's the
13 percentage that we're going to displace, right? I mean I
14 know that that's --

15 MR. BROMSON: Very low. You know, less than a
16 tenth of a percent at the beginning.

17 COMMISSIONER McALLISTER: Well, I'd like to see
18 sort of the definitive study of like, okay, if we cornered
19 the market on biomolecules, what could we get, you know,
20 and how much of it could be outside the LCFS, right,
21 because right now that's kind of the main game in town.

22 So if we're going to talk about the gas system,
23 we really need to kind of get to some numbers on that.

24 VICE CHAIR SCOTT: Can I just jump in here as
25 well?

1 MR. BROMSON: Of course.

2 VICE CHAIR SCOTT: I mean one thing is under the
3 previous administration there was a dairy digester working
4 group that included Secretary Karen Ross and Richard Cory
5 from ARB, Cliff Rechtschaffen and myself. And they did
6 quite a bit of this work and information, and so it may be
7 worth bringing some of that data in as well.

8 COMMISSIONER McALLISTER: I don't really see a
9 whole lot of people talking about that work and so --

10 MR. BROMSON: Yeah, Commissioner Rechtschaffen is
11 the presiding Commissioner --

12 COMMISSIONER McALLISTER: Okay. Right.

13 MR. BROMSON: -- over the dairy biomethane and is
14 still very engaged in it.

15 There have been various studies that have said 10
16 to 20 percent of California's gas used at a theoretical
17 maximum could come from dairy and landfills and wastewater
18 treatment plants. And that's a significant amount, and
19 that is supposed to be both economic and obtainable
20 hopefully by 2030 or soon thereafter.

21 COMMISSIONER McALLISTER: That's beyond
22 California's orders too. That's going out into --

23 MR. BROMSON: Well, some would be but this is
24 looking at in-state sources. Some of the procurement will
25 be from out-of-state, and there's a big debate about how to

1 credits that or not. I mean --

2 COMMISSIONER McALLISTER: Okay. Sorry.

3 MR. BROMSON: No, no. And you know at this stage
4 -- and if you purchase renewable natural gas from outside
5 the state you're not getting those molecules. It's being -
6 - you'll get other gas molecules, but the gas will be used
7 by somewhere. Even when you're purchasing renewable
8 natural gas now, it's getting into the system, it's getting
9 blended. It's not exactly what's used in cars, but it
10 means it's getting used.

11 COMMISSIONER McALLISTER: Okay. So thanks.

12 One more question. I guess on the hydrogen
13 front, how is the PUC looking at the issue of leakage? And
14 I mean physical leakage, not market leakage. But sort of
15 it's an even smaller molecule than methane. And if you've
16 got a couple percent, give or take, of methane leakage, how
17 does that translate into hydrogen leakage?

18 MR. BROMSON: I must admit I don't know. I do
19 have a decent -- I mean the methane leakage is less than
20 one percent. It's about half a percent I believe. And
21 it's -- California, despite a lot of press and despite the
22 problems we've had with the system, it's been fairly low
23 and we've been -- but I honestly have no idea about the
24 hydrogen.

25 COMMISSIONER McALLISTER: I mean the Stirling --

1 the only other major experience with hydrogen has been
2 Stirling I think, and that didn't go that well. Part of
3 the reason was that they couldn't keep the hydrogen
4 contained. And so I would have similar concerns. I mean
5 obviously it's a better infrastructure and, you know,
6 existing infrastructure but I would have similar concerns.
7 So we need to kind of get a handle on that.

8 MR. BROMSON: Will do. Thank you.

9 COMMISSIONER McALLISTER: Thanks very much.
10 Really appreciate your being here and the partnership.

11 MR. BROMSON: You're welcome. It's a pleasure to
12 be here. I'm a natural gas nerd, so this -- and people
13 know that. So this type of presentation to me is my bread
14 and butter.

15 COMMISSIONER McALLISTER: This is great. Well,
16 we're missing former Chair Weisenmiller because he was
17 deep, deep, deep into this stuff too. So we're having to
18 kind of stretch our brains a little bit to pick it up.

19 MR. BROMSON: Well, thank you for your interest.

20 COMMISSIONER McALLISTER: Absolutely. Thanks a
21 lot. Really appreciate it.

22 MS. RAITT: All right. So if Commissioners are
23 ready, I think we can move on to public comment.

24 VICE CHAIR SCOTT: Great. I do not have any blue
25 cards up here with me. I'm looking at our members of the

1 public. I don't see anyone jumping up.

2 Do we have anybody on the WebEx?

3 Okay. So it appears there are no public
4 comments.

5 I also do not have any closing remarks. I don't
6 know whether you all do.

7 Okay. Well, thank you so much for the great
8 presentations. And we're adjourned.

9 (The workshop was adjourned at 1:48 p.m.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24


25

REPORTER' S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 10th day of May, 2019.




PETER PETTY
CER**D-493
Notary Public

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 10th day of May, 2019.



Barbara Little
Certified Transcriber
AAERT No. CET**D-520