

DOCKETED

Docket Number:	19-IEPR-06
Project Title:	Energy Efficiency and Building Decarbonization
TN #:	228804
Document Title:	Transcript of 04-09-2019 Staff Workshop Re 2019 California Energy Efficiency Action Plan
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	6/20/2019 10:54:01 AM
Docketed Date:	6/20/2019

CALIFORNIA ENERGY COMMISSION

STAFF WORKSHOP

In the Matter of:) Docket No. 19-IEPR-06
)
)
)
)
) STAFF WORKSHOP RE:
2019 Integrated Energy Policy) 2019 California Energy
Report) Efficiency Action Plan
)
)
)

CALIFORNIA ENERGY COMMISSION (CEC)

STAFF WORKSHIOP

CALIFORNIA PUBLIC UTILITIES COMMISSION

505 Van Ness Avenue
San Francisco, CA 94102

TUESDAY, APRIL 09, 2019

10:00 A.M.

Reported by:
Susan Palmer

CALIFORNIA REPORTING, LLC
229 Napa Street, Rodeo, California 94572 (510) 224-4476

APPEARANCES

COMMISSIONERS (AND THEIR ADVISORS) PRESENT:

Commissioner McAllister
Commissioner Liane M. Randolph
Martha Brook, Advisor to Commissioner McAllister

CALIFORNIA PUBLIC UTILITIES COMMISSIONERS AND STAFF PRESENT:

Michael Kenney
Eugene Lee

PRESENTERS AND PANELISTS:

Abby Young, Bay Area Air Quality Management District
Nick Dirr, Association for Energy Affordability
Stephanie Wang, California Housing Partnership Corporation
Isaac Sevier, Energy Efficiency for All
Anne Arquit Niederberger, Enervee
Carmen Best, OpenEE
Joanne O'Neill, CLEAResult
Ahmad Ganji, Ph.D., San Francisco State University, Industrial Assessment Center
Anna Smidebush, Pacific Gas & Electric
Christian Lenci, California Large Energy Consumers Association
Dan Bush, Representative of the Joint Parties Working Group,
Public Advocates Office
Arthur Haubenstock, Ex Dir, California Efficiency and Demand Management Council
Daniel Johnson, CPUC

QUESTIONERS:

Jeanne Clinton, self
Jennifer West, StopWaste and Bay REN
Rob Nicely, Passive House California
Nate Kinsey, CEDMC
David McCoard, self
Elsia Galawish, Executive Director, Western HVAC Performance Alliance Inc.

APPEARANCES (cont'd)

ALSO PRESENT:

Just Strachan, Ygrene Energy Fund
Scott Harding, IIP
Janet Wolworth, Sierra Club
Heather Bird, CEC
Joanna Perez-Arten, CPUC
Serj Berelson, Google/Nest
Nils B. Strindberg, CPUC
Nancy Kops
Dan Suyeyasv, Code Cycle
Charlie Buck, Oracle
Olaive Nordlie, EBMUD
Jen Kalafat, CHPC
Sprindhi Sanmpath, CHPC
Ben Cooper, StopWaste
Athena Besa, SDG&E
Lisa Schmidt, HEA
Dan Buch, Public Advocates Office
Rajan Mutia, CPUC
Lisa Paolo*, CPUC

INDEX

	Page
1. Welcome	5
2. Opening Comments	7
3. Overview: 2019 California Energy Efficiency Action Plan	13
4. Presentation: Air Quality Mitigation Districts and Building Energy Efficiency	17
5. Panel #1: Capturing Deeper Savings from Multifamily Buildings	48
6. Panel #2: Innovative Approaches to Energy Efficiency Savings	93
7. Panel #3: Opportunities and Challenges to Capturing Industrial Energy Efficiency	138
8. Presentation: Energy Efficiency Market Transformation	178
9. Closing Comments	204
10. Adjournment	207
Reporter's Certificate	208
Transcriber's Certificate	209

1

P R O C E E D I N G S

2 APRIL 9, 2019

10:00 A.M.

3 COMMISSIONER RANDOLPH: Okay, everyone. I think
4 we're going to go ahead and take our seats and get started.

5 MR. KENNEY: Good morning everybody. I'm Michael
6 Kenney, with the California Energy Commission. We're going
7 to start with a brief emergency announcement, if you guys can
8 play that.

9 [Safety Announcement]

10 MR. KENNEY: All right. So thank you all for coming
11 today to our first 2019 California Energy Efficiency
12 Workshop. This is the first workshop in a series of
13 workshops we'll be doing across the state. We'll be heading
14 to Redding next week, going down to Fresno the following
15 week, and then ending in Los Angeles and San Diego. All of
16 this to collect information for this new action plan we are
17 working on to be published later this year.

18 So today's agenda looks something like this. We're
19 going to have three panels sandwiched between presentations.
20 So we'll be getting a brief presentation as well to give you
21 guys more information about our action plan.

22 So what are we looking to do here today? We want to
23 engage with all the stakeholders here in the room and those
24 on the phone to understand the successes, the challenges,
25 what has been your best practices, and what kind of

1 recommendations can you share with us that we can incorporate
2 into our action plan process. We really want to document the
3 information coming from our panelists and the information
4 that gets put in to our docket on multifamily energy
5 efficiency, industrial and agricultural energy efficiency,
6 building decarbonization, the link between what air districts
7 are doing and what energy efficiency programs they may be
8 running, the intersection between greenhouse gas emission
9 reduction and energy efficiency.

10 And to understand the roles of all the actors running
11 programs, so whether it's regional energy networks, community
12 choice aggregators, investors in utilities, public in
13 utilities, what are all the different challenges, successes
14 that they can share.

15 So each notice lists a series of questions we're
16 hoping to receive input on from stakeholders. These workshop
17 notices are available on our Integrated Energy Policy Report
18 webpage so we would request that you respond to those
19 questions you are comfortable responding to. And at the end
20 of each panel and presentation there will be time for
21 questions. So if you do have comments or questions that you'd
22 like to make, we'll reserve time at the end for those.

23 And following these workshops if there are specific
24 comments you'd like to make into the docket, a link is
25 available as well. So any comments we'd like to receive by

1 May 15 at 5:00 p.m. That's same deadline for all of our
2 workshops so that way it's just open and people can comment
3 and we look forward to hearing from you.

4 So with that, I would now like to introduce our -- I
5 apologize, I'd like to pass over to the dais and allow for
6 opening comments from Commissioner McAllister and
7 Commissioner Randolph.

8 COMMISSIONER MCALLISTER: All right. Thank you very
9 much, Michael.

10 Welcome everybody. First of all, I wanted to say
11 thank you to the CPUC for hosting. We love it when we do
12 things together. It just makes everything, I think better
13 and just improves the quality of the conversation and just
14 having the shared space to true up ideas and to, you know,
15 hear from the same stakeholders in the same place. It really
16 cultivates the spirit of cooperation, collaboration but also
17 makes sure we're all looking at the same information and able
18 to interpret it and talk about it in real time. So that's
19 always really helpful.

20 This effort is a critical effort, it's a key effort
21 for California's reaching its climate goals. We're having
22 these meetings, as Michael said, across the state. And it's
23 not every activity or every report or every plan that for
24 which we have staff, you know, trucking across the state to
25 listen to people in their own environment and in their own

1 context. So we really wanted to do that for this effort
2 because this is critical. This -- how are we going to double
3 energy efficiency, how are we going to get to our existing
4 buildings, and how are we going to begin to decarbonize our
5 buildings are all questions and all topics of this California
6 Energy Efficiency Action Plan.

7 And so it's a year-long effort, it's a big lift for
8 the Commission, we have some really great staff on it,
9 Michael among them but you'll hear from some of them in the
10 coming -- today and in the coming days and months. You'll be
11 working with them if you choose to participate which I hope
12 you do.

13 Energy efficiency is evolving. I mean, frankly it
14 needs to grow up and become a resource like that can really
15 mimic supply that can be timed based, we're going to hear a
16 little bit about that today, that can really be predictable
17 and that can contribute to certainty in our path forward for
18 how we're going to use less energy and use decarbonized
19 energy in the best -- in the most cost effective and optimal
20 way.

21 So, you know, energy efficiency, you've been doing it
22 in California as all of you know you're all in this industry,
23 you know, 45 years. But energy efficiency it's a new era, we
24 really have to play in the sandbox with a lot of other
25 resources and there are many, many other resources now sort

1 of competing for everyone's capital and attention.

2 However, energy efficiency is still key, it's still
3 really number one. Definitely number one on the loading
4 order but it makes all of our other problems smaller. It
5 makes all of our investments in different kinds of supply
6 smaller. It helps rate payers across the board reduce their
7 bills. It reduces the investment we have to make in our
8 energy systems. And it frees up capital for our broader
9 economy which just makes everybody's life better. It makes
10 all of Californians' life better.

11 So we really need to crack this nut, you know, we --
12 we've had AB 758 report for a number of years now. We did
13 the first draft and we did an update, Nancy Skinner's Bill
14 from six, seven years ago now, to focus on our existing
15 buildings. So the existing Building Energy Efficiency Action
16 Plan is -- was sort of the nugget that we're now building on
17 to embrace SB 350 doubling, and to embrace AB 3232
18 decarbonization of our buildings. Make sense to sort of fold
19 those efforts together.

20 But in the years since the existing Building Action
21 Plan was produced, I think we've made -- we have made a lot
22 of progress and I certainly don't want to minimize that. But
23 we have not figured out how to get to our existing buildings
24 and improve their performance at scale and get the kind of
25 capital that we need to those buildings.

1 Certainly the 30 or 40 percent across the state of
2 low-income customers are a big challenge. You know, they
3 don't have the capital, most of them are living paycheck to
4 paycheck, many of them are renters, most of them. And so how
5 to get to those buildings as part of this doubling effort, we
6 have to figure out a way.

7 So I believe that there are ways in the marketplace
8 to -- there are solutions in the marketplace. I also believe
9 in order to scale those; we're going to have to work with our
10 policymakers. We're going to have to work with the
11 legislature, we're going to work across the agencies with ARB
12 and the PUC and within the Energy Commission to really get on
13 the same page so we're firing on all cylinders and we're
14 channeling the kind of capital that's needed. We're
15 mobilizing it from the private sector and we're using state
16 resources where we can. We're working with local governments
17 to leverage their authority. It's really all hands on deck.

18 And so this document, this plan, this action plan is
19 the vessel for those ideas. You know, this is where we -- we
20 adopt this plan at the Energy Commission. So we will develop
21 it and towards the end of the year we will adopt it at the
22 Energy Commission, it will become policy, it will become the
23 plan for California.

24 And then we can point to it, we can say, hey that's
25 the plan. Legislature, work on some, you know, we'll work

1 with you on some bills to try to free up some resources and
2 help the marketplace embrace some of the ideas in the plan.
3 They have to be good ideas, they have to be workable, but
4 they also have to be bold.

5 So we really -- I exhort you to put on your best
6 thinking cap, you know, pull the best one -- out of -- on the
7 rack there and put it on and participate. Because the
8 knowledge, you know, it's not going to be generated
9 inherently inside, you know, a state building. It really
10 needs to come from people out there with their fingers on the
11 pulse on the marketplace, technology, stakeholders, real
12 world problems that are out there that need to get solved.

13 There are some great solutions emerging, we'll hear
14 about some of them today at small scale and not necessarily
15 even in California. Some great work going on in the East
16 Coast, there's great work going on in Chicago, in the
17 Midwest, how to finance activity in existing buildings. And
18 we need to do that in California. We need to figure out how
19 to adapt those activities to California's reality in our
20 context.

21 So that's enough words, I've gone on too long
22 already. But I am really passionate about this and I have an
23 open door at the Energy Commission in Sacramento. If you
24 have a burning idea, you know, I want to hear it, and so does
25 the staff at the Energy Commission, so do our counterparts at

CALIFORNIA REPORTING, LLC

229 Napa Street, Rodeo, California 94572 (510) 224-4476

1 the CPUC. So just, you know, keep banging on the door
2 because it will open and we'll figure out how to make stuff
3 happen.

4 So that's what we're here for and, you know,
5 California really can't expect anything less from us. So
6 with that, I'll pass to my colleague, Commissioner Randolph.

7 COMMISSIONER RANDOLPH: Thank you. I just kind of
8 wanted to take a moment to thank the CEC for embarking on
9 this project and I'm really excited that we were able to host
10 the first workshop and be able to kind of start setting the
11 stage for this action plan.

12 I -- first of all, I of course have to give a shout
13 out to my predecessor Commissioner Peterman, who put a lot of
14 great effort into this and set forth a lot of major changes
15 in how we're implementing EE programs, including the rolling
16 portfolio framework, and third-party administrator changes,
17 and lots of work that our staff is currently implementing.

18 And some of you may know, I'm also the commissioner
19 on the Integrated Resources Plan proceeding and that is why I
20 wanted to take on this task because as Commission McAllister
21 mentioned, looking at location based and time based analysis
22 and trying to, you know, really treat energy efficiency as a
23 resource in that integrating planning process is one of our
24 first next steps in the integrated resources planning
25 process. So I'm excited to be able to work on both of these

1 issues and work on that intersection and try to make that as
2 effective as possible.

3 So thanks again for coming to San Francisco and I
4 look forward to our discussion today.

5 MR. KENNEY: Thank you. So good switch to the next
6 presentation.

7 So now we're going to head into a little background
8 or a little background about our prior reporting and how this
9 new action plan puts a lot together. It was nice setting the
10 stage there for Commissioner McAllister to bring up all these
11 different mandates that we've had and directions we've been
12 given and all the overlap that occurs within them.

13 So in 2015 we put out the original energy -- the
14 Existing Buildings Energy Efficiency Action Plan subsequently
15 updated in 2016 and that was driven by in large by AB758
16 in -- all the way back in 2009. And that guided us to focus
17 on residential, commercial, public buildings and to put out
18 this roadmap for achieving more energy efficiency and not a
19 set number, no targets just we need to push the dial, we need
20 to transform the market. What are strategies that are going
21 to allow us to do that?

22 And then in 2015, we were directed under Senate Bill
23 350 to actually hit a specific target and hit that target by
24 2030 to double our energy efficiency. And so 2017 we adopted
25 the report that then set those targets and looked at, to the

1 best of our knowledge, what is out there in the market and
2 what do we forecast in terms of energy efficiency savings.
3 And now broadening the picture to both look at agriculture,
4 industry, new construction, conservation voltage reduction,
5 things well beyond our scope of existing buildings that we
6 had in our prior plans.

7 And then, now more recently AB 3232, just last year,
8 is having us assess how we can decarbonize buildings, also on
9 a similar track by 2030. And so we have these three strong
10 policy drivers that are now being wrapped into a singular
11 plan.

12 Not to exclude at all the Low-Income Barrier Study
13 and the Clean Energy and Low-Income and Multifamily Buildings
14 Plan which was produced last year.

15 So kind of taking all the energy efficiency
16 components of those as well as the energy efficiency
17 components of our policy drivers and to put them into a
18 singular report that we can point to as our main report going
19 forward.

20 So this year we'll be updating the targets that were
21 mandated under Senate Bill 350, trying to establish new
22 targets for agriculture, industry, and conservation voltage
23 reduction which we had limited information on in our first
24 assessment. And to try to come up with strong policy
25 recommendations that we can have going forward. And then to

1 look at this being revised biannually with intermediate kind
2 of updates within our Integrated Energy Policy Report.

3 So that's -- this plan, then, is going to take,
4 hopefully -- its similar structures to the way we looked at
5 our Existing Building Action Plan in that we have our vision
6 and we have what that vision is ideally is resulting in, in
7 this case we want to double energy efficiency by 2030. We
8 want to break down the barriers that are preventing more
9 energy efficiency from impacting low-income and disadvantaged
10 communities. We need to figure out ways to decarbonize
11 buildings, and we need to do this in a pretty short timeline.

12 And then we can't forget our guiding principles that
13 need to be with us along the way. So these things that need
14 to be market centered and reliable, quantifiable savings is
15 one that at point that keeps coming up again and again. We
16 need to verify the savings that we're claiming. Things need
17 to be scalable. Whatever the programs may be, whoever may be
18 running them, they need to be able to impact more people than
19 just, you know, a city or town.

20 There needs to be policy coordination. And this is
21 kind of a perfect example of that, we need to work with our
22 brothers and sisters in the California state agencies, with
23 our local governments, and people outside of California to
24 understand what is working and what is not.

25 We need to keep in mind things that are cost

1 effective, and we also need to bear in mind nonenergy
2 benefits that not everything is going to save kilowatt hours
3 or therms but it may have impacts that we can't see, you
4 know, behind the meter.

5 And with that, we'll kind of focus these all into our
6 three goals of doubling energy efficiency by 2030, and
7 expanding energy efficiency in low-income disadvantaged
8 communities, and to decarbonize buildings. So within that
9 have strategies, discuss programs, what policies are in
10 effect, what policies do we recommend, and where do we see
11 ourselves in the years to come.

12 And so this report we expect to draft out in the late
13 summer and hopefully adopting in the fall. So keep your eyes
14 out on that if your -- already got notice of this workshop,
15 you'll be getting notices as those reports go out as well.

16 And so with that, I'll take any questions you may
17 have. If you have a question, if you could come up to the
18 microphone so that way the folks who have called in can also
19 hear you.

20 And if there are no questions, are there any
21 questions on the phone? No? Okay.

22 So then with that we can proceed to the next phase of
23 our workshop. So I will be inviting up Abby Young with the
24 Bay Area Air Quality Management District.

25 So Abby is the manager of the Bay Area Air Quality

1 Management District's Climate Protection Program. During her
2 12 years with the Air District, Abby developed and has
3 overseen over \$7 million in local climate protection grant
4 programs, coordinated regional climate leadership summits,
5 and developed technical guidance and assistance programs for
6 local governments, developing and implementing Climate Action
7 Plans.

8 Prior to working at the District, Abby spent 11 years
9 as the director of the U.S. Cities for Climate Protection
10 campaign at ICLEI-Local Governments for Sustainability,
11 overseeing the development of training programs, software and
12 research to assist local governments in achieving their
13 climate protection goals.

14 So please welcome Abby Young.

15 MS. YOUNG: Thank you, Michael. Good morning. I
16 appreciate the invitation to be able to present here to you
17 today. This is a very exciting topic for the Air District.
18 You're probably a little surprised to see somebody from an
19 air district speaking at a Building Energy Efficiency
20 Workshop and, you know, what's the link?

21 Well, the Air District, there are 35 local air
22 districts in California. The Bay Area Air District comprises
23 the nine, most of the nine county Bay Area region. And we
24 are -- we've been around since 1955 and we were established
25 first and foremost as a public health agency.

1 So I'm going to be speaking on this topic of energy
2 efficiency in buildings from a climate protection kind of
3 lens. So the climate crisis is inherently connected to the
4 issues of public health and air quality. And the Bay Area
5 Air District kind of realized this a number of years ago as
6 we were looking at projections of different global warming
7 scenario projections.

8 And we were modeling what those impacts might have on
9 heat in the Bay Area and extreme heat occurrences. And we
10 really couldn't ignore the fact that if climate change
11 continues unchecked, we're going to see a dramatic increase
12 in extreme heat days which then, you know, are a direct
13 contributor to the formulation of ground level smog -- ground
14 level ozone or smog.

15 So we were really seeing the connection between what
16 was happening with climate change and public health issues
17 and air quality issues and that they're all very intertwined.

18 And then of course, more recently, the issues of
19 extreme exposure to the particulate matter due to wildfires.
20 And so we really can't avoid the fact that climate change and
21 local air quality and health issues are very connected. So
22 this is something that is becoming increasingly important to
23 air districts across California.

24 So just a few words about our agency. We regulate
25 stationary sources of -- actually, let me ask is anybody from

1 an air district here in the room? No? Okay.

2 So we regulate stationary sources of air pollution.

3 That's what the 35 local air districts do in California and
4 then the California Air Resources Board regulates the mobile
5 sources, that's kind of the distinction.

6 And we're governed by a 24-member board of locally
7 elected officials from the nine county Bay Area. We do serve
8 most of the nine counties of the Bay Area, the southern
9 portions of Sonoma and Solano Counties, and the complete rest
10 of the other seven counties.

11 And so that's 101 cities, that's a really complex
12 region. And most of those -- the vast majority of those
13 cities are small. So while, you know, sometimes the
14 discourse is dominated by some of the larger cities, San
15 Francisco, San Jose, Oakland, Berkeley, really the challenges
16 are trying to meet the needs and work with the communities
17 that are in some cases very small indeed.

18 We have seven million people, five million vehicles
19 and those are expected to grow quite a lot in the next 20
20 years. So when it comes to trying to reduce emissions, we
21 have some very big challenges.

22 So let's look a little bit at the greenhouse gas
23 picture in the Bay Area. And we continually work on updating
24 our greenhouse gas inventory but we haven't released another
25 one public -- ready for public consumption since this one a

1 couple years ago. So this is 2015 data. So some of this may
2 have changed a bit.

3 But really what we see is, of course, transportation
4 that's nothing new. We also see a big chunk is what we call
5 stationary sources. And that sector is dominated by heavy
6 industry in the Bay Area. We have five refineries in the Bay
7 Area, a lot of power plants, we have a cement manufacturing
8 plant. So that's kind of what dominates that slice. But
9 also in there are a lot smaller sources that the Air District
10 regulates like gas stations, dry cleaners, coffee roasters.
11 So there's a lot that goes into that section.

12 Now, today we're talking about buildings and you see
13 the slice that says buildings are ten percent of our
14 greenhouse gases and it's a little misleading. The way the
15 Air District presents and conducts and presents its
16 greenhouse gas inventory is a little bit different from what
17 you might see from the city of San Francisco or another city.
18 We focus on these big sections of sources and we have a
19 regional perspective so it's a little bit different.

20 That building's ten percent slice represents natural
21 gas use only in buildings. So that green slice, energy, is
22 really the electric power sector. And we look at the
23 emissions from the power plants in the Bay Area. So a good
24 portion of that green slice would also be attributed to the
25 operation of buildings in the Bay Area. So it's about a

1 quarter of our emissions. So the main story there is
2 buildings, industry, and transportation.

3 Now this is -- one of our board members calls this
4 the scary slide. And it is terrifying indeed. So this is a
5 slide that shows previous trends, that's the dark shaded
6 emissions in the Bay Area up to 2015. And then moving
7 forward, the lighter shade is what we're estimating and
8 modeling the trends taking into account major state level
9 policies. And again, this was done prior to cap and trade
10 reauthorizations so we were basing it on the previous cap and
11 trade system.

12 But really finetuning is not the issue here, the main
13 issue is that we have a tremendous gap. This also, by the
14 way, includes an estimation of the impact of all the local
15 Climate Action Plans in the Bay Area if they were fully
16 implemented.

17 So you can see the little dotted line where we want
18 to be in 2050 and where -- even with all the stuff we're
19 already planning to do, where we're going to go, where we're
20 going to be. So this is -- this is why it's the scary slide.

21 So I am speaking through a climate protection lens
22 today but I just want to also talk a little bit about air
23 quality and public health the nongreenhouse gas portion of
24 what we do, which is really most of what we do.

25 So this is the Bay Area. Those purple shaded

1 communities are areas that are what we call
2 disproportionately heavily impacted by air pollutants. And
3 we're talking about kind of local -- air pollutants that have
4 local health impacts. So ozone, ground level ozone, and
5 particulate matter. So those purple regions are impacted --
6 how do I say this? Either or. Some of them are impacted
7 only by summertime ozone or wintertime particulate matter and
8 some are impacted by both and this slide doesn't
9 differentiate.

10 But you can see that there are -- even though on a
11 day like today it feels like we don't have any air pollution
12 issues in the Bay Area, we really do and what the Air
13 District is more focusing on now is how do we ensure that
14 everyone in the Bay Area regardless of how much money they
15 have or where they live is breathing healthy clean air all of
16 the time. So that and our climate protection goals are
17 really what we're focusing on more and more.

18 So about two years ago -- and so transitioning from
19 that slide, those dual goals of local health and climate
20 protection are what has kind of transformed the way that the
21 air district looks at regional air quality planning.

22 Traditionally air districts do regional air quality planning
23 on a kind of a pollutant by pollutant basis.

24 So historically we would have a regional ozone plan,

25 or we would have a regional particulate matter plan. And we

CALIFORNIA REPORTING, LLC

229 Napa Street, Rodeo, California 94572 (510) 224-4476

1 would look at what are all the things we can do to reduce
2 ozone and ozone precursors or what are all the things we can
3 do to reduce particulate matter? The problem with that
4 approach is that some things that we might do to reduce one
5 pollutant could increase other pollutants. So for example,
6 some things that we might do to reduce ozone precursors might
7 compromise efficiency. And if we compromise efficiency,
8 we're probably increasing greenhouse gas emissions.

9 So what we wanted to do was take a multipollutant
10 approach where we look at the interactions of different
11 pollutants with the different kinds of actions that we might
12 take so that we could see those tradeoffs.

13 So two years ago we adopted Spare the Air Cool the
14 Climate which is a multipollutant clean air plan. And we
15 tried to model it off of the state's Climate Protection
16 Scoping Plan. So we looked at the same nine sectors and
17 organized the plan according to the same nine sectors that
18 the state organized the scoping plan across.

19 And that plan includes -- actually, you know what?
20 I'm going to go back. There's one thing I was going to
21 mention.

22 In taking that approach, we came up with 85 different
23 measure -- broad measures that address those different
24 sectors. A lot of them are regulatory, some of them are
25 funding. But a lot of them are other types of measures that

1 I'll get in to.

2 Those 85 different measures break down to nearly 300
3 discrete implementation actions so we really had this long
4 exercise of trying to think of every single thing we could, I
5 think that the kitchen sink is actually in there under, I
6 think it's under water, so I think that's the approach we
7 need to take.

8 So when we think about achieving the climate
9 protection goal and implementing these measures and how we
10 came up with these measures, we were looking through several
11 key objectives.

12 Number one, we want to reduce what the Air District
13 calls super greenhouse gases, super GHGs. These are also
14 called short-lived climate pollutants. They're the
15 pollutants that have a really high global warming pollution
16 value and that are shorter lived so that if you reduce them
17 now, you can have a bigger immediate impact on global
18 warming.

19 So we want to focus on those up front while at the
20 same time trying to get at reducing fossil fuel combustion.
21 So those are the two big objectives. Now we want to reduce
22 fossil fuel combustion by increasing efficiency, or simply
23 reducing demand for fossil fuels and by decarbonizing the
24 energy system or increasing the amount of renewables in our
25 electricity.

1 And the Air District has a variety of tools at our
2 disposal. And so we try to use every single one of these
3 tools throughout plan. We regulate and adopt rules, we issue
4 permits with requirements, we support local government work,
5 we form partnerships with industry and community
6 organizations, we issue grants and incentives, and we conduct
7 our own internal research and scientific studies.

8 So as we look at buildings, and again that blue wedge
9 is probably understating the emissions from buildings, this
10 is just for CO₂ by the way, so the previous pie chart was for
11 all greenhouse gasses, this is just CO₂. You know, buildings
12 are a big part of what we're trying to do.

13 And the Clean Air Plan had three -- has three broad
14 measures for how we are addressing emissions from the
15 building sector. The first measure addresses, we call it
16 green buildings, that's really getting at energy efficiency
17 through a lot of different approaches. The second measure,
18 decarbonizing buildings, that's really getting at fuel
19 switching and trying to increase renewable energy. Market-
20 base solutions, that's where we try to think about how can we
21 use potential funding to stimulate market solutions. And I
22 will get more into that as I talk about our grant program.
23 And then urban heat islands, how can we really get at sort of
24 the dual issue or reducing energy use and addressing heat.

25 And I think the important -- the reason that we've --

1 the Air District feels is so important to focus on the
2 existing building sector is that it's, it's an enormous
3 legacy that we're challenged with. Twenty -- or two-thirds
4 of all buildings that will be around in 2050 have already
5 been built, 70 percent of the homes in California were built
6 prior to Title 24 energy efficiency requirements. It's that
7 legacy that we've somehow got to address. And this is a huge
8 gap, and so we feel that that is a place that the Air
9 District can add value.

10 So cap and trade reauthorization really limited what
11 air districts can do with their regulatory authority with
12 regard to controlling CO₂. So when we think about our
13 climate protection approach, we start thinking okay, well,
14 what can we do outside of our regulatory authority? And
15 working with local governments to support local reductions in
16 greenhouse gas emissions has really become the cornerstone of
17 our Climate Protection Program.

18 And there are a variety of tools that we use to
19 support the work of local governments. Certainly financial
20 assistance, we have a lot of grant money that's mostly
21 focused on vehicles. So we have a lot of funding for EV
22 charging infrastructure and vehicles, we have pass-through
23 money from the state and the feds to reduce, you know, clean
24 up heavy duty vehicles to give to different counties to do
25 trip reduction. We also offer a lot of technical assistance,

1 well, I'll get into in the next slide.

2 We have partnerships and collaborations directly with
3 public agencies, with business groups, with community
4 organizations. We have a very robust community engagement
5 program, and we do a lot of information sharing and
6 convening. We feel that our role as a regional government
7 well suits us for convening and bringing together folks that
8 can share important information.

9 So I wanted to look at tools and approaches and
10 technical assistance a little bit deeper. Local governments
11 need a lot of assistance. They -- we often work with
12 planners in local governments that don't have a lot of
13 technical training to do things like greenhouse gas
14 inventories or cost effectiveness analysis or simply, as I
15 mentioned a lot of these smaller jurisdictions just don't
16 have the staff period. So a lot of what we try to do is
17 support the work that they might otherwise not be able to
18 afford to do.

19 We provide quantification tools for greenhouse gas
20 inventories, methodologies for quantifying reductions,
21 trainings on how to do greenhouse gas inventories, guidance
22 on how to develop solid Climate Action Plans. We offer
23 policy support, best practices, model ordinances, cost
24 effectiveness assessments. We also try to do support through
25 CEQA, and don't worry I'm not going to talk about CEQA, just

CALIFORNIA REPORTING, LLC

229 Napa Street, Rodeo, California 94572 (510) 224-4476

1 that the Air District does develop significance thresholds
2 including for greenhouse gases and we're in the process of
3 updating those right now. We also provide a lot of guidance
4 through CEQA consults and commenting on how to strengthen
5 local Climate Action Plans and projects.

6 So applying these to the building sector, we're
7 thinking of what we're doing, the work we're doing with local
8 governments in three parts.

9 First is a climate protection grant program which I'm
10 going to speak to next. We also do a lot of policy support.
11 And finally we're in the process of trying to ramp up what
12 we're doing with local governments on buildings by developing
13 a strategic building decarbonization approach.

14 So I'm going to talk a little bit about our climate
15 grant program. A year ago we issued \$4.5 million in
16 competitive grants and these were from the Air District's
17 general fund. So we didn't have a prescriptive, you know,
18 approach that we had to follow. We didn't even have a
19 prescriptive focus on what we had to -- to fund. So staff
20 engaged in a process of talking with different public
21 agencies and nonprofit groups and some business folks and
22 tried to figure out well, what should we do with this money?

23 And we decided -- one big question was do we go deep
24 or do we go broad? And we decided, well, we're going to do
25 both. So we wanted to go deep on buildings and broad on

1 innovation. So we created two buckets of project types for
2 this funding. One was to focus on reducing emissions in
3 existing buildings, and I'll give you a number of examples of
4 that, and the other was to focus on innovative strategies
5 across any sector.

6 We took this approach a number of years ago when we
7 did a similar one-time grant program. And by offering
8 funding to help incubate and pilot test new innovative ideas,
9 we provided startup funding for Marin Clean Energy which was
10 the first community choice energy program in California, and
11 for Berkeley First which launched this notion of property
12 assessed clean energy financing and now of course PACE
13 programs have gone nationwide. So we really see a value in
14 trying to stimulate innovation.

15 But I'm going to focus on the buildings. So a couple
16 of projects that we are funding, and again we gave out \$4.5
17 million in 17 grants ranging from about \$125,000 to \$400,000
18 all to public agencies. So we provided to -- money to
19 cities, counties, a housing authority, a community college
20 district, waste -- Stop Waste Management was here, the Waste
21 Management Authority, and to community choice energy
22 programs.

23 So one example of one of our projects went to the San
24 Mateo Housing Endowment and Regional Trust. We provided
25 funding for them to run a competitive design project where

1 they are soliciting designs for green zero carbon
2 auxiliary -- it's the word, auxiliary dwelling units, ADUs.
3 So these are basically to allow people to turn, you know,
4 their garage or their in-law unit in to a rentable extra
5 dwelling unit. This, you know, helps address the housing
6 crisis, helps address aging -- the aging and place challenge.
7 We feel this was a growing interest to local governments.

8 So what this will result in is ready to go off the
9 shelf designs for a variety of different types of zero carbon
10 ADUs. So it takes the cost of developing the architectural
11 renderings and design off the table for the homeowner. So --
12 and we're hoping that all these projects will be scalable and
13 replicable across the Bay Area.

14 We also funded about four or five grants to look at
15 incentivizing heat pump water heaters. So while this is more
16 of a fuel switching from natural gas to electricity, it's
17 also in -- it's sort of where renewable energy meets energy
18 efficiency because the efficiency increases quite a bit when
19 you switch from traditional water heating to electric heat
20 pumps.

21 And what we've got is a number of different projects
22 working in coordination to regionalize an incentive program
23 and address different stops along the supply chain. So this
24 is a very exciting program.

25 We're also working with a -- gave a grant to the city

1 of Brisbane to develop a model ordinance that requires energy
2 audits, benchmarking, and retro commissioning of
3 commercial -- of existing commercial buildings. And so
4 that's something very exciting that we're interested to see
5 how it turns out.

6 We're also funded the city of San Francisco to expand
7 its Tune It Up Program where they provide incentives to
8 corner markets and family run small restaurants to upgrade
9 the energy efficiency of their equipment, and our funding is
10 allowing them to include the refrigeration equipment in that
11 program. And the refrigeration equipment is really important
12 because fluorinated gases are an extremely high global
13 warming potential gas and it's the fastest growing greenhouse
14 gas in the Bay Area.

15 We're working with Marin County to try to address
16 embodied carbon in building new buildings. They are
17 developing local specifications and a model ordinance for
18 using low carbon concrete in all new building practices. So
19 this is getting at efficiency of -- in the building process.

20 And then finally, we're working with the city of Palo
21 Alto Municipal Utility to do an appliance replacement and
22 recycling. Recycling is the important part. Recycling of
23 the fluorinated gases and refrigerants program. This will
24 hopefully stimulate energy efficiency by stimulating the
25 replacement of old inefficient appliances.

1 So there's a variety of approaches that can be taken
2 by local governments, and funding is a big piece of getting
3 this going, but it's not the only piece. A lot of what can
4 simulate the market are policy drivers and so one thing that
5 we do is we try to dis -- to work with local governments to
6 figure out what kinds of policy drivers might work for them
7 and what assistance do they need to get them developed and
8 put in place.

9 So one thing we did last year in coordination with
10 the CEC and also with the Bay Area Regional Energy Network,
11 BayREN, and with the Bay Area Regional Collaboratives, kind
12 of coalition of the regional agencies was to develop a model
13 toolkit for requiring solar PV on new construction. And this
14 was a couple years ago so it was before the new Title 24, you
15 know, update had come into place.

16 So this is sort of start to finish turnkey approach
17 that takes all the work and time out of the hands of the
18 local planners so -- that they can just take this and all the
19 materials, the cost effectiveness analysis, the CEQA
20 document, everything, and take it to their -- to their
21 council.

22 This was sort of a test run and we think that we
23 could do this kind of soup-to-nuts policy development for
24 local governments on a variety of topics.

25 So we're now trying to think well, what can we do

1 with maybe EVs or EV charging or applying this to all
2 electric, you know, construction. So, TBD on what the next
3 toolkit is going to be.

4 We also work with local governments a lot on
5 climate -- local Climate Action Plans. We help them think
6 about target setting. We help them think about what kinds of
7 measures to include. We help them think about how to
8 quantify the impacts of different measures.

9 So, here in the Bay Area there are about 75 local
10 Climate Action Plans that have been adopted. And that's the
11 most of any region in the country. So we want to help make
12 sure those are as strong as possible and as likely to achieve
13 their goals as possible. So we worked very closely with
14 local governments on those.

15 And then we've also created of those 75 local Climate
16 Action Plans, a database of all the measures that are
17 included in those climate action plans. Over 3,000 measures
18 and we've cataloged them according to sector, to type, to
19 subsector, to estimated emission reductions, we've taken them
20 at face value, we haven't gone back and said, well, are you
21 implementing any of these? But it is a catalog of what is
22 included in all these 75 local Climate Action Plans.

23 And when we look at those -- oh, it's coming up in a
24 couple of slides, we'll have to wait on the details on that.

25 So the final tool in those -- that three-part kind of

1 bucket of tools funding, policy support, and then a building
2 decarbonization strategy. We're really in the middle of this
3 right now. We're trying to figure out where do we go next?
4 How do we expand and accelerate the action of local
5 governments in meeting the SB350 and other local goals for
6 their building sectors? And what is the appropriate role for
7 the Air District? There are things we do well and things
8 that we don't. So what can we do and how can we add value?

9 So we're serving local governments, industry experts,
10 community organizations, and we're trying to figure out where
11 we fit in. And we're trying to think about this in terms of
12 how do we get a big GHG reduction? How do we fill a gap? We
13 don't want to duplicate anything. How do we work equity in
14 to what it is that we're doing? How do we address those
15 emissions impacted communities? How do we impact underserved
16 communities? What's the likelihood of success? You know,
17 are we pulling -- are we trying to bite off something that
18 will actually result in some high -- good emissions? Will it
19 be something that could be scalable? What are the --
20 particularly air quality co-benefits? We always want to make
21 sure that we're integrating again the public health and air
22 quality piece into our climate work. And then ultimately is,
23 you know, our -- is what we're doing cost affective?

24 So when we think about all these things, we get the
25 feedback from all these local government and other folks,

1 we're really honing in on incentives, it was mentioned by one
2 of the commissioners the money and the incentives and the
3 investment is key. The Air District doesn't have a lot of
4 money. So when we do have money, we really need to focus it
5 like we do with our grant program; focus it on incentives,
6 focus it on filling a gap, focus it on things that will be
7 scalable.

8 We also, what's floating to the top is more of these
9 policy resources, more of these guidance documents and
10 helping local governments with the policy levers that they
11 hold.

12 And then finally, in the next couple of years we want
13 to reflect on this grant program, see what was the most
14 successful, and has the biggest opportunity for scaling
15 across the region.

16 So this is the database I wanted to dig in to. So
17 this pie chart shows -- it is a little hard to read, the
18 breakdown across different sectors of, you know, what do
19 these local Climate Action Plans contain in them?

20 So the circled sector of these 3,000 measures, that
21 gray slice, those -- that's the portion that address
22 buildings. Okay. So it's a pretty big piece. And when we
23 look at these measures, what are some of the things that
24 emerge? What seem to be common approaches that local
25 governments are taking to address energy in buildings?

1 We do see a lot of audit and efficiency, you know,
2 upgrade campaigns and outreach. These tend to be softer
3 voluntary measures. So, you know, the effectiveness is
4 proportional to a soft voluntary outreach kind of measure.

5 Technical assistance to homeowners, that's great but
6 that's often dependent on uptake and how do you get the
7 uptake? Green building ordinances and reach codes, that's a
8 place where in the Bay Area we're -- most of the local
9 governments are on-board with reach codes. It's mostly an
10 issue of the staffing resources to get it done.

11 Improved enforcement with permitting and inspection;
12 that seems to be an ongoing issue of, you know, we've got it
13 on the books but we don't have the resources to go out and
14 inspect and enforce.

15 And then we try to look at well, are there any
16 particularly innovative approaches that we've noticed in
17 doing this cataloging process? And we just, I just, you
18 know, picked a couple to show you.

19 So, in Piedmont, they're requiring -- they haven't --
20 they're working on it, they haven't put it in place yet. But
21 requiring an energy audit or upgrade at the point of sale.
22 So point of sale, these are -- these are policies that local
23 governments have been -- have used. The city of Berkeley and
24 the city of San Francisco did them a long time ago in the
25 '90's where this is how you get at the low -- the existing

1 building stock. How do you get that turned over? And
2 putting energy efficiency upgrade requirements at point of
3 sale was viewed as really one of the only ways you could do
4 it. But those have become politically undoable. Even in
5 Berkeley, they had to roll it back.

6 So without -- that doesn't seem to be a political
7 option anymore so what else can we do? This is a big
8 challenge. And then, you know, Danville, absolutely more and
9 more local governments are trying to think about how to we
10 engage -- how do we find the points of engagement that affect
11 building energy efficiency? It's with designers and
12 architects but it's also with vendors, suppliers,
13 contractors. So how do we -- how do we insert ourselves at
14 those different points?

15 So in order to expand and accelerate this work, what
16 is it that local governments need? So these are just a few
17 things that are not really shockers to anyone but this is
18 what we're hearing are key challenges from local government
19 staff. Always funding and financing, of course. But they
20 also are struggling with this equity issue. How do we
21 address multifamily buildings? How do we address low-income
22 households? This is an ongoing struggle.

23 Getting information to energy decision makers -- and
24 decision makers would be the homeowners, the landlords, the
25 building owners. How do we get information to them so that

CALIFORNIA REPORTING, LLC

229 Napa Street, Rodeo, California 94572 (510) 224-4476

1 they're ready to make, what we would call the right kind of
2 decision at the point of time that they have to make the
3 decision? So Saturday morning when your hot water heater
4 goes out and you're calling somebody anybody to help you, are
5 you really thinking maybe we should do a heat pump. You're
6 probably just going to take whatever they give you. So how
7 can we have that information already on board before that
8 decision point occurs?

9 And getting clarity on legal authority; this was a
10 surprise. There's a lot of confusion as to what local
11 governments can and can't do. So, in terms of, you know, how
12 far can the reach codes go? What about fuel switching?
13 Should they focus on codes or can they -- can they do
14 something to limit the purchase and use of certain
15 appliances? So answering some fundamental legal questions
16 might be helpful to local government staff as well.

17 So as we move forward, we're continuing to survey the
18 needs of local governments. We're envisioning we're going to
19 be having a series of convenings on some of these key topics
20 this year, and of course we want to leverage the resources of
21 the local governments themselves of regional energy actors
22 like BayREN of the Community Choice Energy programs.

23 So, you know, our takeaway from this process is that
24 there's a role for everyone and that absolutely everything
25 has to be on the table. So we'll keep you informed as our

1 process moves forward. Any questions?

2 COMMISSIONER MCALLISTER: I have some questions,
3 actually.

4 Thank you so much for that, that was great. So I had
5 a question -- I have a number of questions and I know we're
6 a -- we have a whole panel to do before lunch so I want to
7 give them their full time.

8 But did -- so with your scary slide, I agree it's
9 totally scary, and, you know, I really just, I think, lately
10 we've seen a lot of news -- this is sort of confirmation of
11 that -- we've seen a lot of news that, you know, we're not
12 meeting our, you know, our carbon emissions continue to go
13 up, you know, and transportations kind of not going in the
14 right direction. We're not getting -- just each of those
15 wedges needs to get smaller and faster and it's just not
16 happening fast enough.

17 So, have you, let's see, I guess have you done
18 scenarios on the transportation stuff like looking at
19 electrification, you know, how much the red goes over to the
20 green? I guess actually, it was more the pie chart that you
21 had but, you know, there's a big 40 percent plus red
22 transportation, and then there were buildings that were --
23 that are to, you know, a couple wedges for 24 percent.

24 Like, have you done scenarios to see okay, what
25 happens at different penetration rates for electrification

1 transportation? And how much of that, you know, that red
2 migrates over to the building sector and the electricity
3 sector, and scenarios that might actually push
4 decarbonization a little bit faster?

5 MS. YOUNG: Now, that's a great question. So with
6 regard to transportation, the Metropolitan Transportation
7 Commission, MTC, is as part of their development of the next
8 regional transportation plan and the sustainable community
9 strategy, they have embarked on what they're calling a
10 Horizons Project where they're defining different future
11 horizon scenarios that look at things like, you know, robust
12 economy, they look at -- it's actually very interesting, they
13 look at things like immigration, things like natural
14 disasters and trying to impact various parts of the
15 transportation sector.

16 So they are doing that scenario building and they, I
17 believe they've published a few perspective papers as part of
18 that Horizons Project that look at things like, under this
19 scenario we would have more electrification of the
20 transportation sector, under this scenario we would have more
21 infield development. So they've been leading the work on the
22 transportation sector.

23 With regard to scenario building sort of within these
24 different economic sectors, the Air District hasn't done that
25 but that's something that we're trying -- we're planning to

1 get into this year. So that we can look at things like, you
2 know, through all the, you know, by the end of this year, I
3 think every community in the Bay Area will be covered by a
4 Community Choice Energy Program. And they all are on certain
5 pace to have 100 percent renewable energy within a few years.
6 What does that do in terms of how quickly we should be
7 electrifying buildings? Those are the kind of things -- so
8 we haven't, but we will be starting to do that.

9 COMMISSIONER MCALLISTER: That's great. I want to
10 just invite, you know, you -- so I think it's critical that
11 we invite, and Michael mentioned this, but that we really get
12 into the weeds with the COGS and the, you know, the
13 Metropolitan, you know, the planning -- the transportation
14 planning entities as well, and across the state, because
15 there's a lot of detailed knowledge there that we need and we
16 really ought to be working together much more annually on
17 that. So obviously that applies to the Bay Area AQMP.

18 One thing you brought up which I wanted to just get a
19 little bit more detail on is on the HFC front, on the
20 refrigerant front. So if we're going to be promoting heat
21 pumps all over this, you know --

22 MS. YOUNG: No we're --

23 COMMISSIONER MCALLISTER: -- we're going to have to
24 orders of magnitude more heat pumps.

25 You know, what's your view of the system that we have

CALIFORNIA REPORTING, LLC

229 Napa Street, Rodeo, California 94572 (510) 224-4476

1 currently in place and where it needs to go for ensuring that
2 those refrigerants actually get collected? Right now, I
3 mean, I think we all suspect and basically know that there's
4 a lot of venting going on kind of on the down low. But you
5 know, how can we put a system in place that's like car
6 batteries, where they just like basically get recycled and
7 they just, it happens? What's your view of how big of a
8 barrier that is?

9 MS. YOUNG: Well, I'm going to be honest with you.
10 We haven't -- we know this is an issue we have to study more
11 and I don't really have an answer for you. But there are --
12 there has been some work on looking at low GWP refrigerate
13 use and heat pumps, looking at CO₂ based refrigerant systems
14 and heat pumps that's interesting.

15 But certain -- we're trying to learn from this one
16 grant that we're doing with the large appliance recycling
17 of -- recycling of the H -- of the F gases, the HFCs to see
18 if we can apply that to other -- to other types of -- not
19 appliances -- to other types of equipment. So that's one
20 thing that we're specifically looking at in that grant. So
21 not a great answer for you.

22 COMMISSIONER MCALLISTER: Well I just think we, you
23 know, highlights that I think there's a system that needs to
24 be put in place that really is going to have a big climate
25 impact one way or the other, you know, if it does or doesn't

1 exists.

2 So anyway corollary to our electrification, you know,
3 push, have you done -- so it's great that you've got all
4 these -- you're rolling out the climate plans and like really
5 seeing what the local governments are doing. And I think,
6 I'm not going to get into it right now, but I think local
7 governments -- we all know local governments have key
8 jurisdiction here and they have to have the tools that they
9 need. They don't really have those tools and they need a ton
10 of money, right? So I mean, that's, you know, we all -- we
11 know that and we got to try to figure out how to make that
12 happen, you know, while keeping them accountable.

13 But how -- so let's -- so we've got these climate
14 plans. And, you know, we understand basically the building
15 stock and the vintage of the building stock, have you sort of
16 done numbers to see, okay, in the Bay Area, how much money
17 would we need -- would need to come from somewhere, whether
18 it's the homeowner, you know, the property owner, the states,
19 the capital markets, you know, where ever. How much money is
20 needed to do the existing building retrofits that either
21 embodied in the climate plans or just, you know, doing the
22 numbers to get to the climate goal?

23 MS. YOUNG: We have absolutely not done that but I
24 believe others have. I know that BKI did a study a couple of
25 years ago I think including Contra Costa in Alameda County

CALIFORNIA REPORTING, LLC

229 Napa Street, Rodeo, California 94572 (510) 224-4476

1 where they were looking at just that. I'm not sure if Stop
2 Waste has done anything like that but possible.

3 So I think others may have we -- the Air District
4 probably would not -- that probably would not be what we
5 would do but we would try to potentially support others.

6 COMMISSIONER MCALLISTER: Yeah, it's a touchy public
7 number.

8 MS. YOUNG: Yeah.

9 COMMISSIONER MCALLISTER: I mean, I'm sure somebody
10 in this room probably has a, you know, an estimate -- a ball
11 park estimate.

12 But I think, you know, we need to start being real
13 with this, you know, we really need to start putting the
14 numbers out there to see if we have the political will. I
15 mean, I think that's, you know, when we start talking about
16 hundreds of billions of dollars of retrofitting and
17 rebuilding a lot of our building stock and retrofitting it,
18 that money's got to come from somewhere. And if we don't
19 have the political will to do it, it would be really nice to
20 know that. And if we do, it would be really nice to mobilize
21 it.

22 So, you know, I think we're, you know, people think
23 we make policy, we don't actually. We implement policy that
24 the legislature makes and for the most part the governor, you
25 know, we push things in a direction, we have a lot of tools

1 and levers.

2 But I think the really key question is how much
3 political role is going to back this effort up, you know, and
4 I think in general in California we have a really great
5 political role relative to other jurisdictions but this is a
6 big lift, nobody's ever done this before. So anyway, I'll
7 get off my hobby horse as my colleagues would say.

8 COMMISSIONER RANDOLPH: Yeah, I think that's a great
9 point and, you know, we had a workshop, a building
10 decarbonization workshop yesterday, and are proceeding
11 implementing SB 1477. And I don't know if you've signed up
12 on the service list for that proceeding but I encourage you
13 to do that and just kind of keep an eye on that. I know
14 you're really busy but I mean, some of these ideas are really
15 ones that can be built on in that proceeding so, that's a
16 great presentation. Thank you.

17 MS. YOUNG: And one thing, too. I think just with
18 this political will question, one thing to -- for us to watch
19 is what's happening in Sonoma County as the rebuild after the
20 wild fire. So a lot of incentive money, part -- you know,
21 mostly through PG&E but also the air dis -- through the Air
22 District has been focused on rebuilding as carbon free as
23 possible.

24 And so it will be very interesting to see what the
25 uptake is on those incentives and how deep the uptake is in

1 terms of how much -- how carbon free, how far do the
2 homeowners go? And that may give us some insight into what
3 the market will take.

4 COMMISSIONER RANDOLPH: I think that's a great point
5 but I think it also gets to the marketing component of this,
6 right? Which is the making this -- the kind of new paradigm
7 attractive to homeowners who sort of think of things in, you
8 know, think of a perfect stove as being one way and not the
9 other way and how do you sort of create that kind of buzz
10 that, hey, you know, these carbon-free appliances are just as
11 good or better.

12 COMMISSIONER MCALLISTER: I totally agree. You know,
13 hopefully a lot -- we can create a world where a lot of the
14 solution is voluntary. You know, we live in a democracy, we
15 have a big economy, there's, you know, people making choices
16 every day. And so hopefully that just, you know, happens as
17 a natural evolution. But I think, you know, we have 40
18 percent of the states that's low-income. It's just -- it's
19 not going to happen without a serious amount of money.

20 So and we can -- we cannot leave those folks behind,
21 right, we have to -- they have to be an integral part of the
22 solution. So big challenges, obviously. I really appreciate
23 your coming and that was a great presentation, and let's give
24 Abby a round of applause.

25 MS. YOUNG: Thank you.

1 COMMISSIONER MCALLISTER: I wanted to actually, is
2 Arthur Haubenstock -- okay, there he is. So I wanted to just
3 give -- I'm going to take executive privilege here and carve
4 out a few minutes -- a couple minutes really for Arthur,
5 executive director of the California Efficiency and Demand
6 Management Council. And we are lucky to have an entity like
7 that in California, mobilizing stakeholders who are
8 knowledgeable on these issues and able to provide a voice for
9 what's needed out there in the marketplace. So Arthur.

10 MR. HAUBENSTOCK: Thank you very much, Commissioner
11 McAllister, and thank you Commissioner Randolph. It is such
12 a pleasure to be here today and to be participating in this
13 workshop and to see the agencies working together, not only
14 the CEC and the PUC but also reaching out to the Air
15 Resources Board and the regional districts as well.

16 This is such an important issue and the efficiency
17 plan that you are working on is exactly the prescription that
18 we really need to achieve California and -- the both of the
19 Commissions' goals.

20 We are looking at a tremendous road ahead as was
21 talked about in the scary slide by the BAQMD, the pathways
22 model, and the deep decarbonization study that was done for
23 the California Energy Commission identifies tremendous growth
24 in the electric sector. And even with the maximum use of
25 efficiency and flexible load, we see that there may be as

1 much as 50 percent increase in demand. That means we need to
2 figure out what the barriers are, we need to address those
3 barriers, and we need to start growing our efficiency and
4 demand management sectors in order to achieve California's
5 Energy Commission's goals.

6 We're very excited to be working with both
7 Commissions and with all stakeholders to try to usher in that
8 new future. I recognize that yes, there are some real
9 financing challenges, but yes, there are some real marketing
10 opportunities, and yes, there are tremendous opportunities as
11 Commissioner Randolph was pointing out to use efficiency and
12 demand management to -- as a tool to solve the grid needs in
13 ways that have not been done before.

14 So this is an exciting time, a challenging time, and
15 we very much appreciate the time to talk with you here today.
16 Thanks so much.

17 COMMISSIONER MCALLISTER: Thanks a lot, Arthur, I
18 really appreciate it.

19 So I'll pass it back to Commission staff and we'll
20 get going with the first panel.

21 MR. LEE: Good morning. My name is Eugene Lee,
22 supervisor of the Benchmarking and Equity Unit in the
23 Efficiency Division at the California Energy Commission.

24 And today, I am pleased to be moderating Panel 1.
25 And this panel is titled, Capturing Deeper Savings from

1 Multifamily Buildings.

2 As background, as we know, the energy trail to
3 retrofit multifamily buildings has been long and a very steep
4 one. And it's been traveled in the past by many smart and
5 committed professionals, many in this room. And yet it
6 remains as the Commissioner has described, the toughest nut
7 to crack in the energy sector. Why? A couple of points.

8 According to the U.S. Census Bureau, nearly 60 percent of the
9 multifamily buildings in California were built before 1979.

10 And we know that according to the federal poverty
11 guidelines, 33 percent of California's households are
12 classified as low-income. And within that, 47 percent of
13 low-income Californians live in multifamily housing according
14 to the Commission's Barrier Study. Forty percent of low-
15 income multifamily customers in the Southern California
16 Edison service territory experience an energy burden in the
17 summer. And this is also particular interesting that 54
18 percent of the low-income households use a primary language
19 other than English, according to our Barrier Study.

20 As the Commission affirmed in its adoption of the
21 Clean Energy in Multifamily Buildings Climate Action Plan in
22 November last year, solving this rubric involves addressing
23 the buildings and the behavior, specifically lenders, owners,
24 and tenants, many who are low-income as I described.

25 And part of the solution is the calculus of making

CALIFORNIA REPORTING, LLC

229 Napa Street, Rodeo, California 94572 (510) 224-4476

1 new connections, speaking in "and" statements in our
2 strategies and creating programmatic marriages. Although, it
3 is more convenient to work in singularity and isolation, it
4 requires basically to being averse to the status quo. It is
5 a call to align programs, and their design and learn
6 successful practitioners and scale these models very
7 importantly as it is accepting the challenge that clean
8 energy is a right in a just society for all California
9 residents irrespective of income.

10 Mohammed Ali once said, "It isn't the mountains ahead
11 to climb that wear you out, it's the pebble in your shoe."
12 And with that backdrop, joining me to identify and remove
13 these pebbles are some of the brightest in our industry.

14 And they are to my right, Nick Dirr, Director of
15 Programs at the Association for Energy Affordability, AEA.
16 And during his 11 years at AEA, he has conducted the energy
17 audits, analysis, and research on multifamily buildings. And
18 he has developed retrofit specifications, trained industry
19 stakeholders, and designed, managed, and implemented
20 multifamily energy programs.

21 He facilitates collaboration among the stakeholders
22 involved in comprehensive multifamily retrofits, acting as a
23 single point of contact for owners, utilities, governments,
24 property managers, operators, and engineers and architects
25 and contractors. That's incredible, Nick.

1 He oversees AEA's implementation of the statewide
2 LIWP and SOMAH programs and the BayREN multifamily program
3 and the MC multifamily programs as well as AEA's TCAC, that's
4 the Tax Credit Allocation Committee, Title 24 and GreenPoint
5 Rated services.

6 To his right, I'm also joined by Isaac Sevier for
7 the -- and he's the California Coalition Manager at Energy
8 Efficiency for All. And he works with multiple advocacy
9 organizations across California and in the U.S. and coalition
10 to create and expand clean energy and climate change
11 initiatives which address social inequality.

12 He possesses a multidisciplinary perspective with
13 experience as a policy advocate at NRDC, senior analyst at a
14 wealth management firm and engineer at Chevron prior to
15 joining EEFA.

16 Originally from Oklahoma, Isaac holds a bachelor's
17 from University of Tulsa in Petroleum Engineering and a
18 master's from Stanford in Civil and Environmental
19 Engineering. He is based here in San Francisco, very close.

20 Last, Stephanie Wang is the policy director for the
21 California Housing Partnership, a nonprofit organization with
22 a mission of helping to preserve and create multifamily
23 affordable housing for low-income Californians. Stephanie
24 leads a team of policy and program experts who develop and
25 implement clean energy programs for multifamily affordable

1 homes. And she serves on the Coalition Steering Committees
2 for the Energy Efficiency for All California, and Sustainable
3 Communities for All. And prior to joining to the California
4 Housing Partnership, Steph lead the California policy and
5 strategy initiatives for the Center for Sustainable Energy.

6 Welcome, panelists.

7 We have an array of questions to talk about this
8 morning. And the first question and I'll pose this to Nick.
9 Are -- what best practices can you share for capturing energy
10 efficiency in multifamily buildings? And are these common
11 area upgrades and -- or are you able to capture deeper
12 upgrades in individual buildings?

13 MR. DIRR: From the program design stage, there's
14 really kind of three key ingredients into the formula where
15 we found that it works pretty well, so one is flexible
16 program design. So we really need to meet the properties
17 where they're at and find ways to help them upgrade their
18 property and become more energy efficient and help the
19 residents in that property become more energy efficient. And
20 a lot of times they might not fit a very prescriptive program
21 design, and so we need to evolve a program or solution around
22 them.

23 And with that involves technical assistance. So
24 strong technical assistance for the property to help identify
25 what solutions we could provide to the property and help them

CALIFORNIA REPORTING, LLC

229 Napa Street, Rodeo, California 94572 (510) 224-4476

1 understand again what their needs are but also help identify
2 what needs they didn't know that they had or what
3 opportunities they didn't know that they had.

4 And then the third key ingredient is long-term
5 confidence of programmatic and funding availability. So a
6 lot of these building owners and tenants and contractors need
7 to have a lot of confidence that the program is going to
8 exist for a multiyear period so that they can build their
9 business models around that, they're retrofit planning around
10 that, their financing planning around that, and really kind
11 of build up that momentum.

12 I think by default there is always going to be some
13 preference for common area upgrades just because of the
14 opportunity for reduction in operating cost for the property
15 owner. But only 60 percent of multifamily buildings have
16 central mechanical equipment, you know, 40 percent of
17 multifamily buildings are essentially all apartment-based
18 heating, hot water, and air conditioning. And so, you know,
19 the common area upgrades there is really just limited to
20 sight lighting. So, you know, maybe 30 or 40 percent of the
21 building stock, the only opportunities are in unit upgrades
22 in multifamily.

23 So again, it's helping the property to do that
24 upgrades, it is more expensive to do in unit work. I mean,
25 it's not too dissimilar from single family with the added

1 challenge that you're not working with the homeowner as you
2 are in single family. So it is expense and so the funding
3 needs to be there and subsidies need to be there to help
4 encourage properties to do that.

5 But if we can work with them at intervention point in
6 time when they're planning on doing an upgrade, or even on
7 market rate type buildings or individual buildings that
8 aren't home -- owned by an individual owner, you know, a lot
9 of these buildings, the comment was made before were built
10 pre 1978 so there's a lot of deferred maintenance and needs
11 in those properties. And so it's encouraging them now is the
12 time to make upgrades within your units and improve the
13 quality life for the tenants and here's some financing or
14 subsidies that might be available to help you go above just
15 the minimum.

16 MR. LEE: Isaac, did you want to comment on this?

17 MR. SEVIER: Yeah, I can. I mean, thanks, Eugene,
18 for the really kind intro and Nick for explaining some of the
19 really kind of like down in the weeds details here.

20 I want to add because I think that Nick is being a
21 little --

22 Sorry. Thanks. Is this better? Yeah. So I just
23 have to lean straight into the microphone for you guys.

24 I just wanted to add that I think Nick is being a
25 little bit humble about some of the success that we've seen.

1 So the question is about best practices, right? And the
2 program that he administers, LWIP, has been able to achieve
3 45 percent energy savings in multifamily buildings. That's
4 half, right, that's close enough, I'll round up to half,
5 right? And in contrasting last year in utility programs that
6 are trying to bring the same type of energy efficiency to
7 low-income customers who live in multifamily historically
8 have an energy savings rate of 4½ percent.

9 So I think it's important to know and not because,
10 you know, the -- there's something wrong with kind of what
11 has been done in the past, because as Eugene says, a lot of
12 very bright, very professional people have trod this path.
13 But I want to point out that if we're getting real about
14 doubling energy efficiency savings, the disparity between the
15 success of a program model that's being used by LWIP and
16 being used with the BayREN program, the MCE program, and many
17 others, is tenfold.

18 So by going to kind of like a really flexible
19 approach, we're not just going to see a doubling, we're going
20 to see a doubling, and then another doubling, and then
21 another doubling, all with what we already know about program
22 design. And I think that's really important, right?

23 I think it's -- I think it's important, too, to focus
24 not just on the common areas because that is where building
25 owners want to see a reduction in their operating costs, but

1 to address the whole building while we're there. I mean, the
2 literature will tell you that addressing the whole building
3 is the smartest way to approach building upgrades. And a
4 favorite Stanford professor of mine describes it as picking
5 up a lot of pennies in the world of energy efficiency, right?
6 No one's going to stop to pick up one penny or two pennies,
7 but you might pick up a whole dollar if you can do it.

8 So I think it would be incredible unfair to move
9 ahead with a common area of focus and not try to bring some
10 of the benefits of energy efficiency to the spaces where
11 people are actually living. Thanks.

12 MS. WANG: Thank you, Eugene. I want to -- here we
13 go.

14 I'd like to add a shout out for a Low-Income
15 Weatherization Program Multifamily Impact Report that the AEA
16 team and the California Housing Partnership team just
17 completed in March. It's available online in multiple
18 locations, including chpc.net, go to the resources page.

19 And you can see not only some of the statistics that
20 Isaac mentioned but also an average of 30 percent tenant bill
21 savings. Also information about how it promotes climate
22 resilience, promotes decarbonization of buildings, also
23 integration of energy efficiency, solar thermal, solar PV.
24 And the variety of solutions as you were mentioning that
25 whole like, don't just pick up a couple of pennies, pick up

1 the -- we'll pick up the dollar approach and how that relates
2 to preserving affordable housing and getting owners of
3 affordable housing excited about doing these types of
4 projects. So and among other things also, the farm worker
5 program, et cetera.

6 So, you know, I'd encourage you to look at that to
7 get more information.

8 MR. LEE: Steph, since this is a good segue. From
9 your perspective, what changes could be made to capture more
10 EE in multifamily dwellings? Do you consider them kind of a
11 hybrid of we've got policy and resource, other kind of sweet
12 solutions?

13 MS. WANG: So I've been thinking a lot as I've been
14 doing spring cleaning, about I'll admit Marie Kondo, I don't
15 know how many of you have like read the book or watched the
16 show, but you pick up the things in your home as your home is
17 very, you know, it's clutter like mine, I've got a six-year-
18 old, so we've got way too many toys and books, and other
19 things we've just gathered over the years and you pick it up
20 and go, does this spark joy? Yes, or no? And if it doesn't,
21 maybe it used to, right? Maybe a long time ago you built
22 that Lego set together or that Ikea furniture whatever, and
23 at that time you went ah, I need this or made that, you know,
24 piece of, you know, that mug and back then it really meant
25 something to me, it used to have value.

1 But she teaches you about how you have to be able to
2 let go of even the things that used to spark joy and don't
3 anymore. And I thought a lot -- I think a lot about our
4 energy efficiency and clean energy programs in that context
5 too.

6 We built these, right? If you've been working in
7 this field, as I look around, I'm like yeah, I know all of
8 you. We've been here a long time and you know what 10, 15
9 years ago, a whole lot of these programs we were proud of
10 them. We went, this is the best we've ever done, these are
11 amazing, good job all of us, we're killing it compared to the
12 rest of the country in energy efficiency, high fives all
13 around.

14 But you know what? Some of those programs don't
15 spark joy anymore. And in the words of my six-year-old who's
16 also a big fan of Elsa in Frozen, you got to let it go. So
17 this is, yes, okay, so my entire -- is this is going to go on
18 the transcript? And I just imagining the entire record is
19 going to be I've been practicing talking to legislators more
20 who are not, by the way, not interested in me talking deep in
21 the weeds, so I'm practicing.

22 But basically, what I'm getting at, is we've got a
23 ton -- a huge portfolio of energy efficiency programs and
24 solar programs and now we're going to have decarbonization,
25 electrification programs. And we have a tendency -- I

1 remember being in the Integrated Distributed Energy Resources
2 process that was previously the IDESM. So, you know, I do
3 know some acronyms too, I've been with you.

4 And back then we'd go well, what if we just pile them
5 together and we will break down the silos by having like,
6 one-stop shops and integration behind the scenes. And don't
7 worry, we'll take care of it in the application -- behind the
8 scenes application process for all of you. It will fine.

9 But I also know a lot about trying to combine
10 programs now and we will, yes, we will keep trying to do it
11 because I'm not expecting you to let them all go at the same
12 time. It will take time to let go of that favorite sweater.
13 I still have sweaters that I haven't worn for five years and
14 I just can't, right? And it's going to take us some time.

15 But we were just talking about programs that work,
16 love it, right? Programs that we've got impact reports,
17 we're like, yeah, we're doing it. And these -- and low-
18 income multifamily property owners love them. I mean, when
19 you hear about like okay, we've got 300 properties on the
20 wait list and we're not advertising. Not really anymore
21 because we don't have enough consistent funding and we don't
22 want to be getting folks hopes up. And the program's not
23 available across the whole state, only in certain -- in
24 certain communities, right?

25 We would have even more demand if we had the funding

1 available and we could ramp up, we could keep doing the
2 outreach the way we know works.

3 But what we don't have -- and it's -- the problem
4 isn't even that's there's no money. We've got huge
5 portfolios of investments in energy efficiency, in clean
6 energy. We're going to have more funding coming out. We
7 also have -- even programs for low-income, but we continue to
8 invest in the same programs that used to be the cutting edge
9 and now we're learning we've got better working programs with
10 better results for this moment and in designs that we can
11 continue to evolve, right?

12 And I'm just saying I think it's time. I don't know
13 if it's going to be enough to keep saying behind the scenes,
14 we're going to one-stop shop it, we're going to make a single
15 application for -- so you can apply for eight programs at the
16 same time with different application requirements. Not sure
17 that's going to work. And so that's -- that's my overall big
18 picture point of it all.

19 COMMISSIONER MCALLISTER: Can I ask a question,
20 Eugene?

21 So just super high level, you felt like you were
22 talking at a high level. I'm going to go really high level.
23 Okay. So what do we -- so we're -- we talk a lot about
24 these, you know, the mortgage assistant buildings and the
25 recent application process and sort of jumping in to that as

1 sort of an easy win, you know, not that it's easy, but it's
2 at least conceptually.

3 But the vast majority of multifamily out there is
4 just sort of low-end market rate, right? It's just sort of,
5 you know, it's got a private owner, and it's just kind of,
6 you know, average housing that's for, you know, low-income
7 people live in.

8 So, is -- what can the Commission or what can the
9 agencies do to get at -- to sort of get that sector's
10 attention? Is it, you know, is there a big convening to be
11 done? Are there owners to be identifiable? Is there, you
12 know, some pitch we should be making to the legislature to
13 like mandate something?

14 I mean, you know, so how do we mobilize that sector
15 and really sort of get some sort of get some scale and then
16 do something bold?

17 MS. WANG: So I'll admit freely, my expertise is not
18 in, you know, unregulated -- we -- those of us who work in
19 affordable housing think of those unregulated, low-income
20 multifamily properties as market rates. Some people refer to
21 it as naturally occurring affordable, though they don't have
22 any requirement to stay affordable is an issue. And so I
23 feel in some extent it's really hard to separate out for me
24 the question of, how do we get their attention and how do we
25 get them to participate without also thinking about, you

1 know, some of the other issues we run up against when we're
2 trying to serve that market sector.

3 So I think, you know, there -- on the one hand, there
4 are huge opportunities to use similar approaches that
5 would -- that we would use for deed restricted regulated
6 affordable housing, you know, offer significant subsidies and
7 really, you know, really make it extremely appealing.

8 On the other hand, as we may talk about further in
9 this panel, in another point, there's still major barriers
10 to -- that as we work with our environmental justice and
11 other equity organization partners on figuring out how do we
12 actually ensure that our state investments do not accelerate
13 displacement in communities.

14 And so it's -- I have a hard time answering that one
15 in the moment with the current, you know, with the current
16 toolset we have. But I think many of us are working together
17 at this time through Energy Efficiency for All trying to, you
18 know, build the toolset, work with our agency partners,
19 always appreciating folks like Eugene and tapping their long
20 years of experience in all of this work, too, and try to
21 figure out like what tools might we have worked and used in
22 the past, not necessarily for energy efficiency, but for
23 other sustainability programs that may also have had concerns
24 about displacement.

25 So I can't -- so unfortunately, I don't have a quick

1 answer for you on that. Perhaps others on this panel might
2 have.

3 MR. SEVIER: Yeah, just in my free time I solved it,
4 Commissioner. And I've just been waiting for this chance to
5 tell you.

6 So I do think that the point is right, that the
7 naturally occurring market is a hard nut to crack. And I
8 really appreciated some of what Abby was talking about
9 through some of those innovative approaches like requiring
10 building upgrades at point of sale.

11 I also want to point out that kind of reiterating
12 what Stephanie was saying here that we're seeing new
13 approaches deliver serious energy savings without centering
14 energy at the core of the message, right? So why with this
15 greenhouse gas reduction program achieving 45 percent
16 savings -- and I'm going to say it a lot, so you're going to
17 hear it a lot. They're also -- the Association for Energy
18 Affordability and NRDC are working on a pilot with the South
19 Coast Air Quality Management District to electrify
20 multifamily residences as a part of a nitrogen oxide
21 reduction program, right?

22 So there are other pathways into motivating building
23 owners to make these kinds of upgrades, and I think the
24 important piece for the Energy Commission to really look at
25 is what does it mean to provide sustained long-term funding

1 for programs like these? Because building owners aren't
2 waking up today or tomorrow going like, gosh, I really think
3 I should upgrade my building for the health and safety of my
4 residents tomorrow.

5 Because in the multifamily market, a large part of
6 the residence are low-income. That is a captured market,
7 right? Low-income people don't have somewhere else to live.
8 If they need to move out, it's going to be into a worse
9 building or, you know, a building further away from where
10 their kids are already in school, from where they already
11 work, or it's going to be out onto the streets. And that's
12 just the reality.

13 And so by having long-term funding available and
14 starting to spread the awareness that these funds are
15 available for building owners to participate in, you're
16 really making sure that when the time does come and that
17 building owner is finally like, gosh, if I don't upgrade my
18 building, it's just going to fall apart, right? Or I'm going
19 to face serious violations of whatever code are in place at
20 the time, state code, local code.

21 Without having that assurance and that long-term kind
22 of like knowledge up here that they can tap into those
23 resources whenever they decide, I don't think we're going to
24 see the type of progress that we need. And we see this every
25 year just based on the way that we as advocates are fighting

1 for the low-income weatherization program in the legislature.

2 So five years ago when this program was first
3 authorized, it was authorized for around \$75 million and then
4 that quickly has dropped off to where they get around \$10
5 million every year.

6 And so even though the state has said that it has
7 these like very serious commitments to spending assets --
8 access for low-income, we're just not seeing it reflected.

9 So I think that the Commission could also do some work with
10 just educating its sister agencies, the legislature about the
11 really serious need that exists, and how that is directly
12 connected to some of these negotiations that go on.

13 MR. LEE: Nick.

14 MR. DIRR: And just very briefly, I think it's
15 probably a carrot and a stick approach, unfortunately. I
16 mean, obviously they need subsidies and financing because
17 they may have -- lack access to capital reserves to do that
18 upgrade in regards to the naturally occurring affordable
19 housing or private ownership model. But we do need to nudge
20 them along a little bit as well to --

21 MR. SEVIER: Agree.

22 MR. DIRR: -- show the real need to it.

23 And one last note on -- you know, one of the reasons
24 LWIP program has been successful is because it's greenhouse
25 gas based and so we can design a program around the market.

1 And we weren't -- we didn't have too many limitations around
2 things such as the total resource cost test or other types of
3 things. There's a lot of funding available to the rate payer
4 programs that can be addressed to that sector of the market,
5 but it sort of conflicts with the state energy goals and the
6 climate goals of doing deep comprehensive energy retrofits
7 when the policy sort of mandates just the opposite, just very
8 low-income for house measures.

9 So I think, you know, in your question there on the
10 policy changes, if there could be some legislative changes
11 around even rate payer programs are identified as being
12 successful or not, you know, there may be better metrics in
13 the TRC or perhaps other benefits need to go into the TRC to
14 determine if that's a good investment of funds.

15 MR. SEVIER: Let it go. Right? Let it go.

16 MS. WANG: Let it go.

17 MR. LEE: Moving on. In this environment, we
18 regularly talked about nonenergy benefits. And I recall a
19 great comment during last year in our workshop at the
20 Commission [indiscernible]. The statement was being that
21 benefits are benefits. And there really is unnecessary to
22 bifurcate energy benefits from nonenergy benefits.

23 But using that term about nonenergy benefits, I'm
24 curious, how have those been incorporated in the program
25 process and that all kept using examples of it?

1 MR. DIRR: Tangentially. So, you know, when we're
2 proposing upgrades to our property owner, we're explaining to
3 them, you know, these are the reasons you could do it for
4 energy efficiency or reasons in cost savings, reasons there's
5 better quality of life for your residents, there's reduced
6 maintenance costs, there's improved durability during, you
7 know, heat waves, better resiliency.

8 And so those other nonenergy benefits could kind of
9 help persuade someone to see the real value in it, especially
10 if economics are not there alone. But because all of the
11 programs, at least the CPUC and CEC funded programs are
12 directly tied to, you know, units of energy, units of carbon,
13 then any investment in those properties has to equate to a
14 certain result in those metrics. And so, you know, we speak
15 to those benefits but they kind of occur organically, we're
16 not really able I think, you know, we're not really able to
17 identify some of the other nonenergy benefits or even
18 tangential benefits. For example, electrification is a good
19 example that maybe do an electrical panel upgrade. You know,
20 the panel has, you know, been recalled, you know. And so
21 that -- there's a whole bunch of reasons why that panel could
22 be upgrade that opens the door to electrification and a whole
23 bunch of other safety benefits, but it's hard to package that
24 in giving the currently funding programs that we have.

25 MR. LEE: Isaac.

1 MR. SEVIER: I think what I have to add, so what Nick
2 said is that the benefits of investing in multifamily
3 buildings is going to require breaking out of our box. Like,
4 it's going to require some deeper collaboration with folks
5 like the Department of Housing, Community Development, like
6 the Department of Public Health. The Bay Area Regional
7 Health and Equity's initiative has developed a tremendous
8 policy framework that really links our public health, long-
9 term outcomes to where we live, where we work, and our bill
10 environment right? And so I think when we talk about putting
11 energy efficiency into multifamily, right? We're talking
12 about providing safe spaces for families and people to go
13 during wildfire smoke events. We're talking about helping
14 weather severe heatwaves in the summer and the central valley
15 better.

16 And in order to do -- and, you know, I think question
17 comes down to like are we measuring the right thing to be
18 able to say that we're providing those benefits, right? One
19 of those ways that we could talk about this is by measuring
20 energy burden, right? By asking energy burden is the amount
21 of income that goes to paying your energy bills, right? And
22 for low-income people that's usually two to three or even
23 four times higher than their nonlow-income counterparts.
24 Right?

25 But we don't ask those questions. As energy people,

1 we're using to counting kilowatts and therms, right? It
2 would require us to go have a conversation with like in a
3 economist or public health expert to really understand what
4 are the benefits that we're achieving that aren't kilowatts
5 and therms and I think that we have to do that.

6 MR. LEE: Ducking a little deeper about the steep
7 energy upgrades, you've been successful, Nick, but I know
8 that you face challenges with them. And could you illustrate
9 what kind of challenges that you still face right now?

10 MR. DIRR: Sure. So the deeper and more
11 comprehensive the project it is, obviously it's more costly
12 and then the project timelines are quite long as well. So
13 again, this kind of goes back into the need for having long-
14 term availability of funds that people can plan this into
15 their upgrade.

16 And the earlier they know that there's funding
17 available to help them go beyond business as usual, then they
18 can, you know, they can plan that in and make it happen and
19 have that commitment.

20 You know, we work at projects that are doing
21 comprehensive upgrade, but they're so far along in the
22 program design that it sort of change a lot of the details to
23 make it a very deep and comprehensive project that's just too
24 late for them to do that. So that long-term funding
25 commitment is important. Obviously, it's expensive. So, you

1 know, whatever subsidies are available.

2 It's a good idea but I think we all agree that like
3 we can't have rebates and subsidies forever, like if we're
4 really going to accomplish the scale that we need to do, we
5 need to figure out some sort of other market mechanisms that
6 will enable that to happen.

7 And it's just we need to find a way, I don't know the
8 answer, but we just need to find a way to get the market to
9 value a lot of this stuff better. Whether that's building
10 owners or financing entities or contractors developing
11 business models around this. It's just a real -- even
12 working with contractors, you know, you're used to doing
13 certain things a certain way. And the truth is -- is right
14 now in the economy of California, the construction market,
15 they -- they have a lot of work as it is. And so finding
16 ways to make it valuable and profitable for them to build
17 their business around the Energy Efficiency Comprehensive
18 arena, then we can scale it with or without additional
19 subsidies.

20 MR. LEE: Steph.

21 MS. WANG: Yeah, and I can actually add on nonsubsidy
22 approaches. So -- so my organization The California Housing
23 Partnership did -- did a test of an auto bill repayment
24 approach maybe a couple of years ago and we've been actively
25 involved in, you know, helping agencies design what these

CALIFORNIA REPORTING, LLC

229 Napa Street, Rodeo, California 94572 (510) 224-4476

1 sorts of financing approaches for energy efficiency. And we
2 found some challenges. The big ones tend to be, one of the
3 biggest ones is that just like all of our programs tend to be
4 restricted to particular measures, our targeted financing
5 programs turns out are also really restricted to particular
6 measures, to particular eligibility requirements. And so
7 whether we're looking at a utility on bill finance program
8 that's -- that can only apply to you if you're doing
9 particular energy efficiency measures and you qualified for
10 the energy savings assistance program requirements or you're
11 looking at the statewide on bill rate repayment program
12 through KATFO, they're getting to prepared to launch for low-
13 income multifamily that can only address energy efficiency,
14 but you can't include -- I don't think you can include water
15 solar, solar thermal, anything else. I could be wrong about
16 the exact list, things that you can include. But the
17 feedback we got from a potentially participating affordable
18 housing owner is that generally you're not going to be able
19 to use financing or just a small component of their project,
20 they need a large -- their gap is generally like they're
21 going to bother with all the program requirements and do a
22 different type financing because they have a significant
23 financial gap and they need to be able to fund all the
24 different greenhouse gas emissions reducing measures they are
25 doing at the same time. Ideally there are water conservation

1 measures as well.

2 And then -- so that's piece of it. And the second
3 finding we had was that there's -- that right now a lot of
4 programs are in a place of uncertainty or risk around whether
5 there's bill savings are going to be high enough for to cover
6 their cost of repayment, the risk currently lies with the
7 participating property owner.

8 And when you're talking about affordable housing or
9 probably even low-income multifamily housing, you're going to
10 have to ask them to be sure, I don't think they have in
11 common not a huge amount of interest taking a lot of
12 financial risk when they don't - in affordable housing you
13 have really tight operating expense margins oftentimes by
14 design to meet tax credit requirements. I don't know, I just
15 like to have other folks weigh on the -- on the market rate
16 affordable housing - low income housing side, whether they're
17 seeing tons of interest and taking lots of risks on this, but
18 I would be surprised.

19 I think that, you know, there has been discussions
20 about auto shipping mechanisms, something that my
21 organization would be really interested exploring the
22 Association for Energy Affordability as we're moving forwrd
23 on -- and Energy Commission EPIC project coming up and trying
24 to figure out, you know, how do we -- are there other actors
25 who can take on some of that risk. Are there other ways to

1 make sure we're covering -- covering some gaps around not
2 requiring that every property owner has staff become experts
3 on managing, maintaining, overseeing, monitoring all the new
4 energy efficiency and clean energy measures.

5 MR. LEE: Okay. So when you face unanticipated costs
6 when you're retrofitting, how do you actually bridge that
7 kind of funding? Because inevitably on this housing stuff
8 we're speaking of, you know, lead, abatement, and mold, and
9 asbestos mitigation. You've probably faced some of this,
10 Nick?

11 MR. DIRR: Yeah, it's not -- there's not really good
12 solutions, to be perfectly honest. A lot of times it means
13 either the project doesn't happen or there's a dramatic
14 reduction in scope so that they can use whatever funds they
15 have to address that.

16 You know, there are some federal programs that, you
17 know, like the LIHEAP and weatherization assistance program
18 that provides funds for that but, you know that's very
19 specific to a particular building sector.

20 You know, Marin has an interesting model. They've
21 upped the green and healthy homes initiative chapter in Marin
22 County and they've paired that with their MCE program so GHHI
23 Marin does provide funding for those types of issues.
24 Anything health and safety or code related. And it's pretty
25 substantial funding, but again, it's very limited to a low-

1 income building sector and just to Marin County currently.

2 You know, and one idea I had even in just working
3 with other agencies in the state is that, you know, it would
4 seem like there's some funding out there from the healthcare
5 industry. I mean, we all I think agree that like addressing
6 the root cause and the source of the issue is being
7 addressing the symptoms and so I would think somewhere out
8 there there's a huge bucket of funds that could be used to
9 address root cause type things instead of addressing it in
10 the emergency room.

11 MR. LEE: And it goes to your point about this
12 collaboration with Department of Public Health.

13 MR. SEVIER: Yeah, if I can add -- just add a comment
14 and take a step back with you all for a second. So I don't
15 have answers about how to finance this. I don't have the
16 perfect answer yet on how to pay for it, give me time.

17 But I want to point out that part of the quandary
18 here in plain language is how do you make people -- or where
19 does the cost get passed down to, right? So we talk about
20 building owners not wanting to take on the risk and I think
21 the other side of that coin is well, we'll pass on the risk
22 to our tenants and we'll make sure that they're -- they're
23 part of the solution in repaying the cost of this building
24 upgrade.

25 And here in California where we already have really

1 high housing costs and a large number of folks who are living
2 in multifamily housing are predominantly low income, that's a
3 risk that I can't advocate for, right? I can't advocate for
4 potentially displacing people out of their homes because
5 those costs have been passed through to them.

6 So I think that, you know, for all of us in the room,
7 and I challenge to anyone who's listening to this to really
8 think about how do we creatively outside of what we already
9 know about on bill financing, about kind of green bank
10 lending. How do we address a problem like this?

11 I was talking to a colleague of mine at the Rocky
12 Mountain Institute over lunch the other day about this and we
13 both are just stumped, right? There is not on the menu today
14 and financing options a way to both provide clean energy
15 upgrades and avoid a risk to tenants. And so we really have
16 to think about our housing stock as a part of our societal
17 infrastructure and think about other models that we've used
18 to finance upgrades to our build infrastructure.

19 MR. LEE: Thank you. [Indiscernible] to a different
20 topic about our workforce and to what extent do you actually
21 utilize a well-trained local workforce in your EE efforts.

22 MR. DIRR: Depends on the program. So a number of
23 the programs and we're talking about energy efficiency at the
24 moment. But a number of the solar programs have very
25 explicit workforce development requirements, local workforce

1 development requirements which works well because it's
2 scalable and replicable so it's worthwhile for a contractor
3 or a workforce development agency to invest. Getting people
4 placed in those jobs because there's repeatable large scale
5 projects they can work on.

6 It's a bit trickier than a multifamily efficiency
7 sector because just the way that the current market is -- is
8 happing is that, you know a project, you may have one in this
9 county and another in Fresno County, and another in Stockton.
10 It kind of jumps around, it happens every 9 or 10 months so
11 it's hard to invest a lot and building that workforce if
12 there's only one project for them perhaps to work on.

13 So, you know, we do work with contractors, local
14 contractors you do a good job on those projects and they
15 understand the nuances of going better than business as
16 usually. And so, you know, BayREN's a perfect example as a
17 program that's been going on in the Bay Area for six years
18 now and repeatedly 5,000 units a year. And so entire
19 contractors have built their business plans around that. And
20 so in that sense it makes sense for them to invest in
21 workforce development.

22 We're also working with the property managers to help
23 them understand how to use this equipment, especially high
24 efficiency heat pump type of equipment but all types of
25 advanced equipment. And so I think that's really helpful as

1 well. We have done a few contractor trainings, but usually
2 they've been voluntary. And the challenge with voluntary
3 trainings is the people that come didn't need the training.
4 You know, they were already interested in it and they already
5 knew what to do and they just wanted to learn more.

6 And so we had a really hard time finding folks that
7 really need the training, they either haven't drank the Kool-
8 Aid or they just haven't seen it as a profitable benefit for
9 them and so they haven't invested the time and resources
10 which are significant to have someone come and get off the
11 job and learn stuff.

12 MR. LEE: Going on that subject, do you see that
13 there's a state role in -- for state departments, the Climate
14 Action Plan laid out 49 strategies and then identified
15 multiple state departments to implement the strategies. In
16 your experience a role of, you know, maybe it's the Energy
17 Commission, but maybe a little broader than that at the state
18 level that you see state agencies that would -- can help.

19 MS. WANG: I'll take that, Nick you may have more to
20 add. I've heard time and again from workforce organizations
21 that when the state or local governments try to just create
22 workforce job training programs standalone, they don't --
23 there's no connection to actual jobs.

24 MR. SEVIER: Uh-huh.

25 MS. WANG: And so we really have to make sure that

1 you're pairing workforce job training programs with programs
2 that are creating the market so that there is a job to get to
3 and not just, you know, such a short term, that by the time
4 you finally get through the program and there's no job you're
5 done, you just went through a training exercise, but rather a
6 longer term funding real market development so that you're --
7 you're getting trained for a career.

8 MR. LEE: And that really is a different focus as you
9 put it. Thinking career focus.

10 MR. DIRR: Uh-huh.

11 MR. LEE: What's the long game here. Right? Okay.
12 So what advice would you give to building owners that are not
13 currently going beyond just the minimum right now?

14 MS. WANG: I think I'm going take this as if you're
15 talking about a state code minimum for example. So a lot of
16 times I would say the affordable housing owners I interact
17 with the most tend to be a bit more savvy, right? So on
18 sustainability meeting climate goals some of them may even,
19 you know, maybe be a sustainability lead and -- but we're not
20 really trying to design it for them, they already have
21 somebody there. But I would say amongst at least affordable
22 housers, even those who don't have sustainability leads,
23 there's a recognition that if they are given flexibility,
24 that they can find a less expensive solution and even, you
25 know, looking at -- but sometimes get talking to them and

1 they cannot understand that code minimums aren't necessarily
2 written to be like, oh, this is expensive.

3 MR. DIRR: Uh-huh.

4 MS. WANG: Lowest cost solution or high spent value
5 solution but rather a starting point and, you know, we work
6 with a lot -- and we and others in the building work a lot
7 with the Energy Commission and really appreciate the work it
8 they in designing code to -- to be flexible recognizing that
9 what's less expensive or higher net value is different from
10 location to location. Nobody was designing code minimum for
11 the perspective that this is your cheapest option.

12 And so going so beyond a minimum often is going to be
13 a better deal. And so often I have these conversations with
14 folks in affordable housing industry. Not just the folks who
15 are trying to figure out what to do now with one project, but
16 going back to the political will, how do they feel with how
17 green code is going at the state level and locally.

18 And I advise local governments when they're creating
19 code requirements and they don't want to scare off the
20 development of affordable housing, don't tell them a one
21 reach code option. Yes, they're better off going with all
22 five options that you came up with, don't subtract any of
23 them. Give out all five because, you know, then your
24 developers will look at them and go, I think I can do one of
25 those five rather than oh, my God, you gave me only one

1 option and it's going to be crazy for this particular parcel
2 right? So that's been my experience.

3 MR. LEE: Isaac.

4 MR. SEVIER: I'm going to add, Eugene, here that I
5 think another tactic could be to really educate Californians
6 who need this in their homes about the benefits that could
7 have them. You know, there's a lot of tenant organizing that
8 goes on around this state, a lot of renter advocacy groups
9 that are out there.

10 And while we're talking about the whole market rate,
11 so in the deregulated market I think there's good actors,
12 nonprofit groups that are trying to create the kind of land
13 stop on affordable and durable housing. But out there in the
14 naturally occurring market, what's going to drive demand to
15 kind of go back to Commissioner McAllister's point is
16 political will. People don't know how to ask for something
17 that they don't know about, right? And so I think about a
18 lot of political will in terms of really educating my
19 neighbors about what's available to them, what they could be
20 having, the buildings that they could be living in if they
21 were putting more pressure on their landlords.

22 And I think that it's a little more nebulous, right,
23 especially for us energy folks who really like to focus on
24 the technical parts, the things that we can count, right?
25 But, you know, meeting on climate goals is going require

1 being really creative and really strategic in ways we haven't
2 been before based on the slide that Abby showed us. We're --
3 we're not going to make it guys. So let's stop kind of like
4 hammering on just the things that we've done and really start
5 asking ourselves how do we bring more people into this
6 climate tent? How do we make sure that people are demanding
7 that we go there to meet our 2100 goals?

8 MR. DIRR: I'll be brief on this. The AB 802
9 disclosure of homebuilding energy use for multifamily
10 buildings with 50,000 square feet or more will be interesting
11 because now to get to your point, there might be more of a
12 sort of a bottom up request to say oh jeez, my building is
13 not very efficient.

14 And even, you know, the -- I think it's going to be
15 disclosed in sort of an either ENERGY STAR score or EUI which
16 may not really help folks really understand how good or bad
17 their building is so you really need to take that AB 802 data
18 and also convert it into how carbon intensive or not carbon
19 intensive my building is and then, you know, the communities
20 and residents that live within this building can say, oh
21 jeez, my building is using a lot carbon. Provide that
22 pressure to the property owner to upgrade it.

23 MR. LEE: Yeah, a selfless pitch. You know, this
24 year multifamily buildings owners are now required to report
25 to the Energy Commission, specifically my benchmarking

1 program I'm supervising. And so now we're going to be
2 collecting both commercial building and multifamily building
3 energy use. So we're really excited in this year. Thank you
4 very much for brining that up.

5 I think what you're really describing is engaging the
6 tenants and oftentimes that does involve these community-
7 based organizations. And do you have any experience on how
8 you actually integrated tenants and encouraging them to
9 participate? How did -- how is their role can be being
10 better?

11 MR. DIRR: It is a challenge. I think, you know,
12 especially because a lot of the major upgrades are going to
13 require the property owner's involvement. But there are
14 things that residents can do within the units without
15 property owner involvement. So you know, in the BayREN
16 program, we're developing a pilot with -- partnering with
17 Home Connect who kind of has the gamification approach of
18 having users, actual individual residents, see what their
19 energy usages is on the electricity side and reduce usage it
20 at high times a day.

21 But again, I think coming back to the AB 802 really
22 is a good pathway for -- you know, we need to value
23 efficiency and low carbon buildings in the market. Whether
24 that's at time of rental or just for folks living within
25 their buildings to provide pressure and provide them with the

CALIFORNIA REPORTING, LLC

229 Napa Street, Rodeo, California 94572 (510) 224-4476

1 tools and the documents to take to the property owner and
2 say, hey, these are different things that we could do, here's
3 some funding available and really work with local community
4 based organizations, I can help empower them to do that.
5 Because it is a pretty intimidating thing, I don't like
6 talking to my landlord.

7 So we need community based organizations that can
8 sort of advocate on their behalf or tenant's right,
9 education, vary organizations.

10 MR. SEVIER: Yeah. I mean, Nick, I love fighting
11 with my landlord so if you need someone to fight your
12 landlord, I mean, I'm game.

13 So let's -- I have a funny story about that but you
14 can ask me later when I'm not on a microphone.

15 So one -- one thing I want to give a shout out to
16 here is the great process that the CPUC used in the San
17 Joaquin Valley proceeding where they really built up a
18 stakeholder based design approach to developing those 11, I
19 think pilots for how to electrify propane and wood use in
20 areas of the central valley that are too far away from
21 natural gas pipelines and to reasonably connect them and
22 provide that heating service.

23 So I would encourage following that kind of an
24 example wherever that we can. I think community members know
25 what they need. They know what a solution should look like.

1 They may not have the fancy education to tell you all the
2 jargon, but they certainly know what will work for them.

3 Energy efficiency for all the summer will be hosting
4 an equitable electrification workshop that really follows
5 that same model where we're asking community-based
6 organizations to come and help us design a strategy. What
7 would it look like for the state of California to not only
8 double its energy efficiency goals but expand access to
9 disadvantaged communities and enable really deep fuel
10 switching across our state.

11 And we think that that kind of a model is the best
12 way to really democratize some of the process.

13 MR. LEE: Thank you. I want to turn the time now to
14 any kind of questions that we might have.

15 COMMISSIONER MCALLISTER: Eugene, are we going to
16 open up, oh yeah. I would like to hear from the audience we
17 have monopolized everything.

18 MR. NICELY: Okay. My name is Robert Nicely and I'm
19 a general building contractor, work in the Monterey Bay Area.
20 I'm also the copresident of Passive House California, I
21 actually drove up here today to address you on behalf of
22 Passive House California about some of this stuff and I will
23 just in sec. But some of the stuff you have been talking
24 about makes me want to -- these are one of those microphones
25 we have to be really close -- makes me want to talk about a

1 couple of things from the point of view of being a building
2 contractor.

3 You guys all talking about sort of -- I apologize,
4 I'm hearing a bunch of stuff about top down strategies about
5 how to basically create cultural change which is what I think
6 we're talking about, culture change in the marketplace to get
7 -- yeah, get people to value the things that were not in the
8 consciousness in the recent past so we're talking about how
9 do we get people to -- how do we create demand or create
10 value in the marketplace for energy efficiency strategies.

11 And I'll just say I've been doing this, I've been
12 working for the trades for about 35 years and for the last 15
13 years, I've been trying to do just that. And something I
14 want to tell you guys is that an interesting thing that
15 happens is when you start to work in your own business when
16 you start and try and make energy efficiency part of the
17 offering that you're providing, something interesting happens
18 and that's that the trades people start to learn to have that
19 department, their craft or their wisdom if you will.

20 So something that happens is that if there's some
21 force that is causing them to have to relearn their trade, in
22 this case it's mainly me as a boss telling them you have to
23 do this. But starting with this, I'd say 2013 codes cycle
24 was also -- to a lesser extent that there is quote unquote,
25 green code which acknowledges as a trade person we're

1 starting to think a little more about that aspect about what
2 we do.

3 But basically we're talking about a cultural shift.
4 And the point is -- is that once you -- if you have -- I've
5 certified some passive houses and I've had some fairly high
6 profile projects where the clients wanted to have a very
7 advanced building. And when you have -- people start doing
8 that kind of work, it's not like they're going to go back to
9 not doing that kind of work afterwards.

10 In other words, if you make a point of insulating all
11 the little places as you go along or air sealing all the
12 little places you go along rather than, you know, building it
13 however you're building it and then have the insulator come
14 when you're done building it. You think about those things
15 and that sort of starts to suffuse into the culture and the
16 tradespeople and that's one of those sort of little guerilla
17 ways that this is going to happen is that when the when
18 people are working the trades start to incorporate into this
19 -- this into their craft, that's one of the ways this is
20 going to suffuse out in the culture as well.

21 So one other things before I get into the passive
22 house thing, I want to say is that when you're talking about
23 incremental upfront cost that is added to a project, a
24 multifamily in this case, you have to bear in mind and Isaac,
25 you talked about The Rocky Mountain Institute when I was

1 trying to get my mind around this, I read some books that
2 they put out and one of the concepts was that if you don't do
3 marginal change but if you order a magnitude change you can
4 also realize benefits that drive down cost. So there is --
5 while there is an upfront cost, there's also the fact you
6 have a more durable building that will take less money to
7 maintain, you can have small mechanical systems so whatever
8 the lifetime cycle of the mechanical system, it'll cost less
9 to replace it.

10 Obviously, the energy cost is going to be less so you
11 can track lifetime possibility and find that there are actual
12 savings that sometime quickly outweigh the incremental
13 upfront cost.

14 Passive House -- thing that I came to say was that
15 Passive House California submitted to -- I brought my notes
16 so I'd say exactly right thing -- to the CEC's codes and
17 standard Commission and a reach code study and I came here
18 specifically to say I hope you consider employing Passive
19 House because it is a metric that creates -- first of all the
20 things that you have to do from a tradesperson standpoint are
21 just obvious things that you would do to make a better
22 building.

23 There's just no reason not to do that. I'm not
24 talking about fancy, expensive things, we're just talking
25 about making a good separation between inside and outside we

1 didn't used to have to do.

2 So really from my point of view, there are sort of
3 sophisticated elegant parts to Passive House. But from my
4 point of view the reason I adopted it is because the simple
5 obvious thing that we needed to do going into the future to
6 make buildings work right. And since we in the trades need
7 sort of a -- an authority to tell us how to do things. In
8 other words, you know, the building code is sort of the go
9 and no go line. If we incorporate something like Passive
10 House as an alternative pathway, then you're saying that
11 these, you know, sort of simple, intuitive practices are now
12 what we as the authority, saying that you need to do to come
13 up to the minimum standards. If you're doing your job, that
14 makes it a lot easier for us to go out and have that reach
15 out into our cultural because there's the authority, building
16 code saying this is what you have to do.

17 And I guess the last thing I'll say is that to
18 achieve the climate goals that we need to achieve, we need --
19 we need unprecedeted action, we can't do incremental, 10 and
20 20 percent. We need the kind of gains that we get by
21 employing a protocol like this where people in Passive House,
22 talk about a 75 percent or more improvement and building
23 efficiency. And that's really the kind of change we need to
24 get to the goals. And it's right here in front of us. It's
25 a tested easy to implement metric that is available.

1 So thanks a lot for your time.

2 COMMISSIONER MCALLISTER: Thanks for being here. How
3 many -- how many speakers do we have? I [indiscernible].

4 I did want to just say, give my regards to
5 [indiscernible] and I have talked to staff about this and,
6 you know, it's a pretty big lift, actually to sort of find an
7 equivalence on each and every single case in Passive House
8 will absolutely guaranteed to exceed code. I think that's
9 probably the case. But we have to actually do the work to
10 show that. We were going to try to create that alternative
11 pathway.

12 Anyway, I think it's a great idea. We should look at
13 it and talk with staff about that.

14 MS. CLINTON: Hi, I'm Jeanne Clinton. Some of you
15 may know I retired a couple of years ago. I was the
16 efficiency advisor here in the governor's office.

17 I want to encourage the Energy Commission's processes
18 go forward in the 2019 EIPR process. There are three
19 upcoming meetings where you're going to take up multifamily I
20 think in Fresno, Los Angeles, San Diego. And I really want
21 to encourage you to try to try to structure those panels in a
22 way that says what are the greatest success stories that we
23 have A) in California and what lessons can we learn from
24 those in terms of scaling.

25 And then B) what are some of the best success stories

1 elsewhere. Particularly New York City, Chicago
2 [indiscernible] energy. And I'm really intrigued -- I don't
3 happen to them, I know personally what's been happening in
4 New York but I knew they took an approach of benchmarking
5 multifamily buildings. And then I think requiring that the
6 bottom [indiscernible] title needed to do some level of
7 investment in improvement.

8 So in California we have a benchmark in the reporting
9 process, but we're not yet utilizing that as a stick to
10 mobilize action. And then I would just say since we do have
11 people point to BayREN and the low income weatherization
12 organization program has examples of maybe better models.
13 And I would put out BayREN is not necessarily focused on
14 affordable housing, it's multifamily work in general.

15 I would really like to encourage future workshops to
16 try to focus on what are those success stories and lessons
17 learned? And how do we scale that as opposed to having one
18 off?

19 MR. MCCOARD: Dan McCoard --

20 COMMISSIONER MCALLISTER: Let's let -- let's let the
21 lady here on your left. So she's up. You'll be next so stay
22 right there.

23 MS. WEST: Thank you. I work at StopWaste and I also
24 work on East Bay Energy Watch as well as BayREN programs.
25 And I know Jennifer from BayRen had hoped to be here today

1 and could not. And I'm somewhat standing in, at least taking
2 notes as well.

3 I wanted to make sure that in the preparation of
4 these policy documents that you identified that more funds
5 are needed, especially for local governments to implement.
6 And there are lots of limitations and barriers around TRC,
7 which has been brought up today, Total Resource Cost, but
8 also the three-prong test. And I'd love to have the panel to
9 talk briefly if they can about, you know, how -- what's the
10 potential for change there? How can we break down some of
11 those barriers, release funding that might be designated
12 right now only from an energy efficiency, but look at the
13 bigger picture and how could this document help to set that
14 policy in process.

15 MR. MCCOARD: I'm David McCoard and I live in El
16 Cerrito I'm in a multifamily apartment, 16 units. And we do
17 have all electric kitchens, but the heating and water and
18 space heating for the whole building and they're run by gas.
19 And I would really appreciate the source of information and
20 figures that I could give to my owner to get him to put in
21 electric heating for water and space, we use radiators.

22 And as far as new construction that you've got a
23 crisis in housing from moderate and low income residence and
24 lots of new housing projects are going up in the planning and
25 permitting.

1 In El Cerrito there are three or four big apartment
2 projects going down and with a proportion of affordable
3 units.

4 And if we -- make those all electric design, you have
5 cut the cost of running gas lines to the buildings. And that
6 will reduce costs of residence in two ways. So it will cost
7 less to buy or rent a unit and utility bills will be less
8 from space and water heating, cooling and cooking.

9 And the Department of Energy, their talk has a
10 webpage on electric heat pumps. And they're saying that
11 because they removed heat rather than generated heat, heat
12 pumps can provide equivalent space and conditioning as little
13 as one-quarter of the cost operating conventional heating or
14 cooling appliances.

15 So California residents will thank you for
16 instituting strong policies and guidance to make new housing
17 all electric and to retrofit existing housing. Thanks.

18 COMMISSIONER MCALLISTER: Thanks for being here. One
19 more question, we're going to -- we're right at that -- a
20 little bit past the agenda that we had in mind. And we'll
21 break for lunch for an hour or so. Okay.

22 MR. KINSEY: Thank you, Commissioner, I'll be quick.
23 Nate Kinsey, California Efficiency and Demand Council. I
24 heard a lot about barriers, to doing deep energy retrofits, I
25 heard about moving down specific measures, I heard about AB

CALIFORNIA REPORTING, LLC

229 Napa Street, Rodeo, California 94572 (510) 224-4476

1 802. I didn't hear about NMEC and how meter based energy
2 savings could be a benefit for the multi-family. So I'm
3 curious to know really on that past question what are the
4 barriers to implement some NMEC and how that that can kind of
5 help achieve this achieve this market transportation, market-
6 based approach we need this moving forward.

7 MR. KENNEY: All right so.

8 MS. BROOK: So in case you don't want to answer or
9 you don't feel like you have time, we are going to talk about
10 NMEC in the next panel so [indiscernible].

11 MR. KENNEY: All right. So with that, we will break
12 for lunch. So we'll break for an hour and we'll pick up with
13 the next panel.

14 So we thank you to our --

15 COMMISSIONER MCALLISTER: So let's just give a time.

16 MR. KENNEY: 1:20. So 1:20.

17 COMMISSIONER MCALLISTER: 1:20 [indiscernible].

18 (Off the record at 12:18 p.m.)

19 (On the record at 1:20 p.m.)

20 MR. KENNEY: Okay. So we are going to get going here
21 with our next panel on Innovative Approaches to Energy
22 Efficiency. So I will be calling up Martha Brook who will be
23 moderating that panel.

24 MS. BROOK: Good afternoon. Did everybody have a
25 good lunch? I had a portobello mushroom sandwich right

1 across the patio.

2 I'm Martha Brook. I'm a mechanical engineer by
3 trade, a technical advisor right now by profession -- advisor
4 to Commissioner Andrew McAllister at the Energy Commission.

5 And I'm pleased to moderate this panel of -- on the
6 topic of innovation. So since Eugene this morning had a
7 really great intro, I thought I should actually spend a
8 little bit of time, which I did, during his panel to prepare
9 for mine.

10 And so I looked up a couple of things about
11 innovation. And so just to kick things off with the two
12 quotes that I found that I think are really build off of the
13 morning panel in terms of, you know, you can't keep doing the
14 same old things kind of theme.

15 The first thing I found from an unknown source was:
16 The Stone Age didn't end because they ran out of stones. And
17 the second one is from John Steinbeck and his quote is:
18 Ideas are like rabbits, you get a couple and you learn how to
19 handle them and pretty soon you have a dozen.

20 So the topic of this panel is Innovative Approaches
21 to Scaling Energy Efficiency. And I'm pleased to have
22 actually remarkably in the order of my notes, Carmen Best and
23 Anne Neiderberger, and -- I've got it right here. And I know
24 her first name is Joanne O'Neill.

25 So first Carmen. Carmen Best is director of Policy

1 in Emerging Markets at Open Energy Efficiency or OpenEE. In
2 this role, she supports her team to navigate policy issues
3 relevant to the growth of meter-based energy efficiency
4 markets across the country.

5 Carmen started her career in energy efficiency
6 evaluation and brings a wealth of knowledge and perspective
7 from the evaluation industry coupled with a solid
8 understanding of the regulatory landscape for energy
9 efficiency.

10 Prior to joining OpenEE, as many of you know, Carmen
11 led the Energy Efficiency Commercial Programs and Evaluation
12 team here at the California Public Utility Commission, and
13 served as a senior analysis during her ten years here. She
14 was heavily involved in the initial guidelines from the CPUC
15 following passage of AB 802 and SB 350. And she's continued
16 to track the evolution of these meter-based savings protocols
17 and market developments that have followed.

18 Throughout Carmen's career, she has worked on
19 bridging the gap between forecasting, implementation, and
20 evaluation. She shared her lessons learned across a
21 continent and the world.

22 In her new role, she's bringing the gap -- bridging
23 the gaps remaining to be able to use near term M&V to improve
24 the ability for energy efficiency to contribute as a grid
25 resource. Thanks for coming here, Carmen.

1 MS. BEST: Thanks.

2 MS. BROOK: Second, we have Anne Neiderberger, who's
3 Dr. Neiderberger, and she's a VP Market Development at
4 Enervee. With responsibility for thought leadership and
5 collaboration with utilities, governments, and retail market
6 actors to drive innovation and expand markets for energy
7 efficient consumer products.

8 She's a tireless advocate for making markets work
9 better for consumers and bringing energy efficiency solutions
10 to those who need them most, both in the U.S. and abroad.

11 With roots as a climate scientist, a decade of
12 experience leading Swiss climate policy and a successful
13 international consulting practice and is adept at bringing
14 public and private sector actors together to move markets.

15 Thanks for being here, Anne.

16 And finally, Joanne O'Neill. Joanne has over 12
17 years of experience in the demand side management and utility
18 industries. During this time, Joanne has developed,
19 launched, and implemented numerous energy efficiency programs
20 across residential, commercial, and industrial customer
21 segments.

22 She has a long history of working with key market
23 actors including manufacturers, retailers, and contractors to
24 successfully deliver these programs.

25 In her role as the director of California Programs,

CALIFORNIA REPORTING, LLC
229 Napa Street, Rodeo, California 94572 (510) 224-4476

1 Joanne leads a team to deliver a set of diverse, innovative,
2 and cost-effective offerings across Northern and Southern
3 California. Thanks, Joanne.

4 Okay. So I think you guys can confirm that we have
5 not practiced. So. But I think you do know the direction
6 that our questions are going to lead. Basically, the first
7 set of questions I'm going to ask together and then --
8 because I think they're going to naturally blend in to each
9 other. And then we'll just start and see where the
10 conversation goes.

11 So basically the questions are, what nontraditional
12 approaches to capturing energy efficiency savings is your
13 organization undertaking? What are the major challenges you
14 have faced in these approaches? And what successes can you
15 share?

16 Want to start, Carmen?

17 MS. BEST: Sure. Make sure this is working. Great.

18 Thanks, Martha. I think that the -- well, starting
19 with the simple thing, what are -- what nontraditional
20 approaches are we using? Open Energy Efficiency actually is
21 in a role of not providing specific services to customers,
22 but rather we're a software platform that enables market
23 transactions related to energy savings.

24 So one of the key ways that we do that is by
25 providing a standardized method and a transparent,

1 repeatable, calculations to drive energy efficiency savings
2 in a consistent way. And then that is utilized for
3 settlement payments in pay for performance programs. So
4 that's kind of the most typical way that our platform is
5 being used. It's also being used for targeting and other
6 ancillary services as well. But that's the main role that we
7 have had is being the transactional platform for pay for
8 performance.

9 And the meter challenges, I think that's still are
10 existing in that space are one, that it's still relatively
11 new approach, so there's still some lessons to be learned for
12 how to get the data to flow properly, making sure that it's
13 available to all the different actors in the market. Making
14 sure that people can reorient their program designs to the
15 meter-based types of outcomes.

16 So I came from evaluation, meter-based efficiency was
17 kind of the world that I lived in with ex-post evaluations.
18 But having that information accessible and available as
19 you're deploying your program design gives you a little bit
20 of a different flavor of where you're going to be putting
21 your emphasis and even what sorts of interventions you're
22 going to be doing. So I think that's one of the big
23 opportunities but also a challenge that has been faced as
24 these have been getting going.

25 Another challenge has been making sure that the data

1 is accessible to folks who are actually providing the
2 services, so they can use that for the real time
3 interventions and changes that they're looking at.

4 Some of the successes that I think are most relevant
5 are that, first, folks are really interested in sticking
6 their necks out and trying to make some kind of bold
7 decisions and bold paradigm shifts for how they're deploying
8 programs. There's entirely new models that have come forward
9 as a part of this process that we wouldn't have been able to
10 see at all under a deemed savings framework. So I think
11 that's really exciting.

12 And also that it is having the intended effect of
13 creating a bridge of communication up and down the value
14 chain. So the gentlemen you were talking about being a
15 contractor in the field, people that are delivering these
16 savings can actually see how the savings are coming out for
17 their customers. They haven't really had access to that in
18 the past. Their value and incentives coming from aggregators
19 can be aligned with the value that they're delivering. The
20 aggregators can align their value with what the utility is
21 trying to procure, and then the utility can align their
22 incentives with what the regulators are asking them to do.

23 So and it's all being able to -- it is all able to be
24 done on a common understanding of performance which had I had
25 that as a regulator here at the Commission, I would have been

1 quite happy. We didn't really have that. There would be
2 different silos at which you would check in and have
3 different results. And then a lot of the interactions were
4 reconciling the outcomes. And frequently the folks on the
5 end of the -- at the beginning of the process wouldn't get
6 that feedback.

7 So I think this is a fundamental shift that can
8 really enable the alignment of performance and really drive
9 to bigger investments in energy efficiency with better
10 accountability than we've had in the past.

11 MS. BROOK: Great. Anne.

12 DR. NEIDERBERGER: Excellent. So Enervee is -- I
13 think we're talking about innovation here, I just wanted to
14 mention that Enervee was actually founded by people who knew
15 nothing about energy efficiency. They were digital marketing
16 executives. And I think this is a big reason why we're
17 having the success that we're having is because everything we
18 do is designed from the ground up to be of value to consumers
19 in a market base setting.

20 And so if our offering is not compelling, then nobody
21 will use it. And so I think that's a really important thing
22 here that you keep the needs of the customers in mind, you're
23 obviously going to have much better success.

24 So what we do is we make it simple and compelling for
25 people to make better one-time energy-related buying

1 decisions. So our focus is not on smart meter data and
2 changing behavior in the home once you've got your products
3 in the home or the house is built. Our focus is on making
4 sure that every single purchase that's made is the most
5 efficient purchase that meets the individual consumer's
6 needs.

7 And so the main innovations with respect to our
8 offering is that instead of relying on rebates, you know,
9 mass market incentives which had been the main stay for
10 residential energy efficiency programs for a long time, we
11 actually tackle underlying market barriers and we also apply
12 behavioral insights to make sure that consumers can take
13 advantage of all the data and insights that we have about the
14 market. So that's a shift.

15 And then the other thing, too, is our focus on the
16 one-time buying behavior because, you know, if you make a
17 wrong decision, like if you -- if you're going to spend \$1200
18 for a water heater, you have a choice of buying a
19 conventional water heater or a heat pump model. If you make
20 the wrong choice, you could be spending 3,000 extra dollars
21 over the lifetime of the water heater which is more than
22 double the cost of the water heater to begin with. So
23 focusing on that is a super important piece.

24 We also then, I think the other approach that's
25 different than a lot of approaches is that this establishes

1 an ongoing relationship with people. Because people are
2 continuously making these purchases, they're out there in the
3 market, they're going to buy something anyway, we have to
4 inject our offerings into that normal shopping process.

5 And when we do that, the whole concept of incremental
6 cost pretty much falls away because we're not forcing this
7 consumer to buy any particular model. We're just giving them
8 information to shop within their requirements.

9 And then the other thing that I think is innovative
10 is that we've developed the technology to bring a market-
11 based retail product approach also to the low-income segment.
12 This is something I'm very excited about we can talk
13 hopefully more about later.

14 Another reason why this is so important is because
15 people always forget, Andrew doesn't, but a lot of people
16 forget the plug load in appliances is responsible for 30
17 percent of total energy bills in a home nationwide and 45
18 percent of electricity bills. So by not addressing that,
19 we're not addressing the main driver of residential load
20 growth. So we need to do that.

21 The barriers. Well, beyond just normal, you know,
22 market entry barriers of having a completely novel solution
23 to the utility sector and really, we didn't have proven
24 results, we had theory, we had behavioral research that
25 indicated that what we were doing was going to work, but we

1 frankly didn't have the results yet, that's anything new that
2 you try is like that.

3 What we also found now and this is still ongoing
4 today, there's a big disconnect between state strategies and
5 the regulatory framework, the rules. The rules of the game
6 have not been updated to reflect the state's strategies that
7 we're being asked to respond to and which we are responding
8 to. And there's a lot of examples I could give of that, we
9 can talk about those as we go along.

10 The other problem is the silos, which have been
11 mentioned. You know, customer if you're, think about
12 yourself as a normal person, if you want help from your
13 utility on, you know, making better energy buying decisions,
14 you want to know about EVs and solar, and energy efficiency,
15 and how they interrelate to each other, but the program
16 budgets and the -- everything in siloed.

17 So when we started in California, we were starting
18 under the AB 793 banner and that's that was put into the
19 energy efficiency bucket so adding the vehicle category then
20 becomes a challenge in California. We've done it in New
21 York, but we haven't done it yet in California.

22 So, yeah, just in general it's proven for us as a
23 company to be harder to innovate here than in some other
24 places because of the silos and the mismatch between
25 strategy. And then -- but on the flip side despite all that

1 that, we actually did go from launching an emerging
2 technology trial with Pacific Gas and Electric in 2015 to
3 having these marketplaces -- these online utility
4 marketplaces being included in the 2016 update to the Energy
5 Efficiency Action Plan.

6 And then in 2017, the CPUC actually mandated all IOUs
7 in California to have these online marketplaces by the end of
8 2017. And we've also got LADWP. So we're actually 90
9 percent of the California market.

10 And what we've now demonstrated, in the real world,
11 in practice, is that we can really eliminate this market in
12 transparency barrier and close that gap between what's cost
13 effective for a customer and what the market potential is.
14 Because a transparent market -- when the consumers can see
15 efficiency, then they choice more efficient products. And
16 that's I think a huge advance that we've achieved.

17 MS. BROOK: Great. I'll have some follow-up
18 questions. Very interesting. Let's hear form Joanne first.

19 MS. O'NEILL: Great. Thank you. And to start off,
20 Anne and I were talking before the panel about how wonderful
21 it is that it's a panel full of women to talk about
22 innovations. So thank you Martha for hosting the panel --

23 MS. BROOK: Oh, yeah. Right.

24 MS. O'NEILL: -- and Commissioner for enabling it.

25 MS. BROOK: And you can thank Michael for organizing

CALIFORNIA REPORTING, LLC

229 Napa Street, Rodeo, California 94572 (510) 224-4476

1 it.

2 MS. O'NEILL: Yeah. Thank you Michael, definitely.

3 So, CLEAResult is a program implementer we do work
4 obviously in California but across the U.S. and Canada so we
5 try to bring some insights from across the footprint that we
6 have. You know, I think when we're talking about
7 nontraditional approaches to energy efficiency savings, I
8 think it's worth making a distinction that, you know, there
9 is a customer or marketing -- or marketing engagement
10 approaches, so your incentives, your technical assistants,
11 engineering, partnerships, program logic, et cetera. And
12 then there's the platform of methodologies that allow you to
13 measure and claim those savings.

14 And, you know, I think that there are innovations
15 that can be had in both. One of the areas that we are doing
16 a lot of work in currently is in NMEC, Normalize Metered
17 Energy Consumption. And that kind of presents itself in a
18 few different market approaches. So we have retro
19 commissioning that we run with San Diego Gas and Electric.
20 We were part of the PG&E whole building demonstration. And
21 we run strategic energy management programs both in
22 California and across North America. And, you know, we see
23 those as very unique, distinct, and innovative ways to
24 address that market, leveraging the NMEC platform which
25 allows that.

1 What I think is also interesting and Carmen, you kind
2 of touched on this is, you know, where can we make sure that
3 there's that feedback loop between those market engagement
4 approaches and the platforms that we leverage and how do we
5 make sure that cycle occurs? And so, one of the things that
6 we're excited to be engaging in and it was just launched
7 recently in -- we implement on behalf of BAYREN, the Home
8 Plus Program. And in that program, we're partnering with
9 OpenEE and using the customer data as a feedback tool to
10 further engagement with that customer to further energy
11 efficiency identification opportunities.

12 And so not just as a way to measure savings but as a
13 way to really integrate into the thought process of the
14 program and those marketing engagements which I think is
15 really exciting.

16 In terms of major challenges. So I, you know, I'm
17 trying to keep this positive. You know, I think that a lot
18 of us in the industry and, you know, with kind of the
19 evolution of AB 802 and others saw MX, metered energy
20 savings, those kind of the saving grace to solve a lot of our
21 problems.

22 I think that we have to be weary of labeling it that
23 too earlier and -- because there's a few areas of challenges.
24 So I think customer demand, how do we make sure that the --
25 or driving demand of customers to leverage NMEC and meter

1 rate savings. How does that live in a world where there's
2 still upfront incentives and how do you rationalize that for
3 a customer? And how do you find a customer that is both kind
4 of innovative and willing to move quickly but also willing to
5 wait for you because it takes a while to get those calcs
6 ready and those are rare customers.

7 You know, I think the other challenge is project
8 identification. So how do you find a -- I'm mostly talking
9 about kind of a site NMEC, I know Carmen will probably talk a
10 little bit more about population -- but how do you find the
11 building that is right for the NMEC approach and then the
12 customer that is right?

13 And so, you know, one of the things that we see as a
14 challenge especially in early days is that if we -- there's a
15 lot of risk in pursuing NMEC from an implementer perspective
16 and a customer perspective too. And so we want to make sure
17 they are likely to be successful and that means, you know,
18 based on their energy usages, based on the consistency of
19 their energy usage, based off of, you know, do they have
20 other DERs are they going to pursue them, was there ownership
21 configuration, all those are components in that decision
22 making process.

23 And then finally, I think the policy and measurement.
24 So one of the things -- and I think I'm kind of skipping
25 ahead to one of my other answers, but one of the things I

CALIFORNIA REPORTING, LLC

229 Napa Street, Rodeo, California 94572 (510) 224-4476

1 challenge us is to change our mindset from a policy
2 perspective and -- because if we keep focusing on attribution
3 at the measure level, we're never going to be successful when
4 it comes to the scale and the kind of hope that we're looking
5 for from meter-based energy savings.

6 And, you know, we also need to be faster. So, you
7 know, lot of collective industry, we need to be fast to try
8 things. We need to be fast to acknowledge things that don't
9 work. And we need to be fast when it comes to actually
10 reviewing calculations and models and determining one of the
11 pin points for us is non-routine events and how do you adjust
12 for those? And if you get enough smart people in a room,
13 they'll never agree.

14 And so, you know, we -- I don't advocate for taking
15 smart people out of the room but I do advocate for making
16 decisions and making them as fast as reasonable.

17 All that said, I think that we have a lot of early
18 successes from the programs that we have been implementing
19 and I think those are on a couple different fronts. So our
20 San Diego Retro Conditioning program, we're just getting back
21 some of the first project with a full year of measurement.

22 And one of the projects we're actually pretty much
23 kneeling on the dot, we're within one percent of the
24 calculations on the predicted energy savings which is kind of
25 amazing but it can be done, right. And I think that that's a

1 testament to the fact that it can be done and we, you know,
2 customers can accept this and work within these frameworks
3 and be successful.

4 On the flip side which, you know, some may say is
5 a -- is not a measurement of success I see it as a
6 measurement of success. One of the projects that we're
7 monitoring the gas saving just kind of went completely off
8 the rails and the gas usage went up. But I think that's a
9 testament because that allows us early to identify that
10 that's happening, one.

11 And with the ability to reconnect with the customer
12 and engage on why that's happening is it, you know, is it a
13 change their production? Do, you know, are they still a good
14 candidate here? Was there something missed in the model, et
15 cetera? And without that ongoing feedback, we couldn't have
16 had that conversation or had the impetus for that
17 conversation.

18 So, you know, I think that those are good examples of
19 success from customer perspective. Also, internally one of
20 the things we've done is building out and developing internal
21 processes for NMEC and SEM. And so we've developed a kind of
22 data analytics center of excellence within our organization
23 that has highly trained data and statistical analysts that
24 can do the modeling, vigorous QA/QC processes and really kind
25 of a centralized learning and best practices wing so that we

1 aren't, you know, just learning from the customer that we're
2 working in California, we're learning from the one we're
3 working with in Alberta or in the Northwest, or in New York,
4 and that we're also learning from the M&V reports that come
5 out from the various entities and re -- you know, reinvesting
6 that in to our processes so that we can continue to be better
7 and hopefully provide valuable feedback to California and
8 others in terms of what's been successful elsewhere so.

9 MS. BROOK: Great. Thank you. We're going to go
10 through the last two questions that you've prepared for and
11 then I have a few follow-up questions and then we'll hear
12 from the rest of the group here.

13 So you've touched on this a little bit, but if you
14 could all just spend a couple minutes talking about the
15 future and what innovative approaches you'd like to see or
16 you expect to see and, you know, with the sort of painting a
17 picture of what you'd like the next five to ten years to look
18 like in the energy efficiency landscape.

19 Do you want to start, Carmen?

20 MS. BEST: Sure. I realized after I open my new
21 innovative tablet that my notes were all erased. So
22 technology isn't all good all the time.

23 So I think the question about what the future looks
24 like. I want to start with a caveat, it depends. Because
25 it's going to depend on a lot of people in this room and the

1 innovation that they're able to bring to bear. It's going to
2 depend on regulatory decisions that are in the works and that
3 are, you know, some farther along than others.

4 And it's also going to depend on, as Commissioner
5 McAllister said, political will. I think knowing what we're
6 aiming for is really important rather than just having kind
7 of this aspirational goal of 50 percent increase in energy
8 efficiency by whom, from what, with what dollars is really
9 important to get into that nitty-gritty to know what we're
10 aiming at.

11 I think the other key component to that is having a
12 consistent valuation structure that is supporting the --
13 those big picture objectives.

14 I would like to see a world in which we can be
15 evaluating the whole swath of energy efficiency and other
16 DERs kind of on a consistent basis, so we can be making
17 rational choices about lease carbon alternatives and the
18 marginal costs thereof.

19 I don't think that cost-effectiveness tests right now
20 are going to fit that mold. I think we need to think bigger
21 and go to the bigger picture of resource evaluation structure
22 more like they've done in New York with the valuation of
23 DERs, just called the VDER, someone said it sounded like Star
24 Wars.

25 So I think for the future if we take on those big

1 ticket items and really look -- take a step back from this
2 crazy quilt of policies and rules and guidance that we've
3 created over the years, I think the next five to ten years of
4 energy efficiency and other activities could be really
5 uncertain. And people could sit on their hands and be
6 worried about how we're going to do this going forward or we
7 take some of the elements and successes that have been coming
8 forward and keep pushing forward and see how they're playing
9 out as well in these different valuation structures.

10 I think some -- a couple -- in the shorter term, some
11 concrete things that are coming forward with, you know, the
12 market transformation that we're going to hear later this
13 afternoon. I think the question of program administrators is
14 on the table that's a fairly rare occurrence, you know, maybe
15 once every 10 to 20 years that one comes back up on the
16 table.

17 And I think that when we do discuss and deliberate
18 around accountability and what types of things different
19 entities should be accountable for, it opens up an
20 opportunity to reinvent some of these structures that we've
21 been living with. So if market transformation, codes and
22 standards, kind of that whole upstream swath of how we're
23 delivering to the state can kind of live in one space and the
24 resource acquisition and the resource valuation and kind of
25 the nitty-gritty nuts and bolts could live in another space.

1 I think that would open up some opportunities for them not to
2 have to kind of balance one another out, but rather have
3 their own space to deliver their unique value to the state,
4 and then come back together with more of a top down modeling
5 structure of what we've been accomplishing back to a carbon
6 goal or an intensity goal, or something else -- some other
7 unifying force.

8 And then for that little bucket on the side of -- not
9 the little bucket, I don't want it to be little, I want it to
10 be very large. The whole reason why OpenEE has taken on pay
11 for performance and meter-based efficiency goes back to the
12 ability for it to be financed as a supply -- more like a
13 supply side resource, so more like a PPA. And allowing
14 finance structures to come to bear in that -- in that -- in
15 that space.

16 And what you need to be able to do in -- to enable
17 that is have a consistent and repeatable view of your risk
18 profile and where those savings are going to be delivered.
19 Not for every asset, not every site but in aggregate. And
20 that's why we focus on aggregate methods, that's why we focus
21 on, you know, the big picture delivery of that. It looks
22 more like an actuarial model for delivery non-efficiency
23 rather than a precision model.

24 So if you think about buying car insurance, it's more
25 along those lines. I don't know who's going to be getting in

1 an accident but in a collective, I can guess that two or
2 three of us will. So that is the type of thing that we
3 should be looking at with energy efficiency and where the
4 savings are going to happen and where changes are going to
5 not be savings. I think that was the answer to that
6 question.

7 MS. BROOK: It was. That was an excellent --

8 MS. BEST: I'll stop for now.

9 MS. BROOK: -- it was an excellent answer to that
10 question. Anne.

11 DR. NEIDERBERGER: Sure. I think one of the big
12 things is, I feel like we have the stated ambition, a high
13 level of stated ambition, but we need to start really
14 focusing on innovation, driving innovation instead of just
15 the next kilowatt hour saved. Because we need speed and we
16 need scale.

17 I'm a -- as she said, I was a climate scientist by
18 training so I'm acutely aware of the fact that, you know,
19 that we need to -- time matters. And so really, we need to
20 focus on innovation so that's why I was really happy to be a
21 part of this panel. And the couple things that I thought,
22 you know, could and should happen in the next, you know, five
23 years or so, hopefully much faster.

24 The one that Carmen raised is my first point, which
25 is that we need to be able to have an integrated approach to

1 DER evaluation because that's also what the customer wants,
2 like I said before, it's a customer centric approach to have
3 comprehensive offering.

4 Another thing we need is to first finally
5 fundamentally tackle long-standing market barriers because
6 using incentives on top of an inefficient market is not -- is
7 not the way to go. It's going to be much more expensive than
8 if you actually tackle the barriers first and then it frees
9 up money to do very targeted incentives where they can have
10 the most impact.

11 And that's actually been recognized by the CPUC which
12 gave guidance on incentives that said, you know, don't treat
13 all customer segments the same, address their specific needs.
14 And also, don't just offer incentives on any standard product
15 that's better than code but, you know, target your incentives
16 at incrementally efficient -- the most efficient products, if
17 you will. So some of that thought is starting to creep in to
18 some of the decisions. So, yeah, so tackle market barriers
19 head on.

20 And then another one is we need better solutions for
21 the low- and moderate-income segment because forever we've
22 basically done two things. We've done through tariffs bill
23 subsidies, which actually does not encourage people to save
24 energy.

25 And we've -- we've done direct install programs that

1 are 100 percent paid by all ratepayers. And we believe that
2 there's big potential for market-based, retail product
3 approaches. But a key part of that, though, is making sure
4 that the benefit of avoiding the need to pay bill subsidies
5 year after year after year is taken into account in any cost-
6 effectiveness framework that's developed. As soon as you do
7 that, as soon as you account for the avoided cost of bill
8 subsidies, that can pay for special incentives on only the
9 most efficient products for low-income customers.

10 And then another thing is that there should be more
11 emphasis, like Carmen said, on market transformation, moving
12 markets and also I would say on REACH standards or REACH
13 performance specifications for, not just building code but in
14 my area on the product side, you know, we now have the
15 ability, like with our Enervee score, to actually create a
16 dynamic super-efficient benchmark. And this dynamic super-
17 efficient benchmark can be used to simulate manufacturers and
18 retailers to focus on innovation as well.

19 And then I have a wish list of things that we would
20 like to have done in our own space. But do you want, I can
21 do that later, but I.

22 MS. BROOK: So there's only one question left and
23 that's how can we help? We're from the government we want to
24 help. So, if you -- okay.

25 MS. O'NEILL: Great. So, you know, what do I see the

CALIFORNIA REPORTING, LLC

229 Napa Street, Rodeo, California 94572 (510) 224-4476

1 future looking like? You know, I think in the short-term,
2 the next, call it one to five years, I see, clear as all, I
3 see other implementers trying different approaches, trying to
4 identify what the most effective solutions are and try to
5 figure out what acceptable risk is in those solutions.

6 And, you know, I think during that time and maybe
7 cover your ears, Regulators, I think that the cost to deliver
8 those is going to be higher. It's going to be harder to
9 deliver those as we're testing new models and kind of
10 stumbling a little through that process it's going to be
11 harder to engage customers. But I think five years plus that
12 is, you know, with the ifs, and I'll get to them that Carmen
13 mentioned, you know, I think we could really see the scaling
14 of the models that are deemed effective, I think we can see
15 lowering of administrative cost. I think we can see
16 increased penetration and adoption from customers and
17 increase cost-effectiveness.

18 But all that can only happen if we get the regulatory
19 framework right and we give the market the room to innovate
20 and room to fail. Because the -- without that, that room to
21 innovate, we're not going to be able to make those kind of
22 jump, step, leaps into where we need to be in, it's going to
23 end up being more of the same which I -- to your point about
24 the need. We need to do this sooner rather than later. So,
25 you know, I think that that's -- that's where I see.

1 MS. BROOK: Good. Great. Yeah. I'll just put a
2 little tidbit in here. When I was reading through the
3 innovation quotes this morning, more than half of them
4 basically were on the -- you have to be willing to fail and
5 fail fast and often so absolutely that's part of the whole
6 ability to innovate.

7 So the final structured question is, how can Energy
8 Commission and other state agencies help advance more
9 innovative approaches and realize the future that you just
10 described very briefly to us?

11 Go in the same order?

12 MS. BEST: I get to go again? So I'll just re -- I
13 think I'll reiterate. I think the key ones are to have a
14 consistent valuation framework. And, Martha, you and I know
15 well it is challenging to coordinate across agencies, one of
16 the hardest things to do. But I think it's really important
17 given that we have these shared objectives.

18 I think focusing on creating market structures rather
19 than program designs is another important thing. I think
20 program design should be left to folks like CLEAResult and
21 Anne, Enervee and those guys to really bring those forward
22 when we've set a cleaner focus on the outcomes and what we
23 want to achieve tied with the valuation structures that, I
24 think in California is appropriate to tie them to carbon
25 output.

1 And then back to what Joanne was saying, the third-
2 party models, I think, show a lot of promise, just like the
3 RESP for P program has. They -- that opportunity came out of
4 the legislation and the high opportunity programs and
5 projects. And I think there were about eight other
6 opportunities that came out as well through that process.

7 And I think for the most part they've been able to just kind
8 of do their own thing once they've got their advice letters
9 approved. And there have been a lot of learnings that have
10 come out of it, including offering kickers for time valued
11 energy efficiency which should be part of the valuation
12 structure.

13 So I think giving that room for the experimentation
14 and allowing for those opportunities will create a more
15 resilient system for the future that is more focused on
16 market structures and outcomes rather than having to reinvent
17 strategic plans or goals or specific program designs year
18 after year.

19 MS. BROOK: Good. Great.

20 DR. NEIDERBERGER: So from our perspective,
21 there's -- I mean, this is really a little bit from a selfish
22 perspective of what we would need as a company to really take
23 advantage of this -- it's really an unprecedented opportunity
24 because we have -- we have shown that this market-based
25 approached without incentives works.

1 And so now what we need to do is scale it. That
2 means we need to invest more money in marketing and that will
3 increase the cost-effectiveness, the more we market, the more
4 traffic we drive, the lower the cost per therm, kilowatt, and
5 kilowatt hours saved will be. But we again we've got some
6 things on the books like that utilities are supposed to aim
7 to keep marking spent to six percent because that was written
8 at a time when programs were rebate programs, right. So you
9 want to maximize the rebate payments.

10 But we're talking about a model here with no rebates.
11 And so, we need to drive people to the site or it won't work.
12 There are a number of things like that.

13 Also to reach more people, we would love -- our
14 platform was designed from the ground up to be multilingual,
15 that's really not that difficult for us. We've launched in
16 France, for example, we have a Spanish version. We need
17 funding to be able to offer our platform in different
18 languages but it's not a technical -- it's not a huge lift,
19 we just need some money for that. And there's no incentive
20 really right -- we don't have the money to just do that but
21 we would gladly and happily do that.

22 And another thing is, we want to pilot the use of our
23 platform, specifically for low-income customers. We've
24 invested in the technology to do that, it's available, the
25 first tests are going to probably happen again, not in

1 California. But we can inject specific discounts tied just
2 to superefficient products for people who are on CARE or
3 FAIRA TERRAFFs, so we do that all in real time. We can
4 qualify them. And then we can inject this special incentive
5 into an online retail transaction. This all exists.

6 We want to pilot this in California, you know, we
7 want to pilot this but the, like I said, these platforms are
8 funded from energy efficiency funds and if we do that, it
9 hurts our cost effectiveness. That's the barrier.

10 Again, the -- including the avoided cost of bill
11 subsidies in the TRC as a single NEB add-on would solve that
12 problem. And, yeah, I think that's my main wish list.
13 Thanks.

14 MS. BROOK: All good. Yeah. Thank you.

15 MS. O'NEILL: Great. And I really appreciate being
16 asked what the Commission can do to help, you know, I think
17 we've talked about a few different things but my team
18 wouldn't give -- wouldn't let me go back to the office if I
19 didn't mention this again. But, you know, really adjusting
20 our policy framework and mindset away from how we've been
21 running energy efficiency for the last four decades, and not
22 requiring measure level attribution, being quicker to approve
23 new calculation methods, and the review process used for
24 those.

25 And, you know, kind of going to more the macro level

1 we talked about being faster. I think as an industry, we need
2 to be able to move faster to take advantage of these various
3 innovative opportunities.

4 And then lastly one thing that constantly hurts the
5 environmentalist in me is that right now and, you know, in
6 the short term there's an incentive conflict between, you
7 know, the wanting to do what's right for the climate and the
8 customer when it comes to allowing and encouraging customers
9 to do self-generation, and then the policy implications of a
10 customer who is doing NMEC or even a custom project having
11 self-generation and therefore, not being able to take
12 advantage of incentives or being able to claim savings.

13 And I think that that conflict is going to continue
14 to be a huge burden as we look to, you know, achieving our
15 climate goals in the State of California, is if we can't
16 align the financial incentives for the market that we are
17 asking to take on the reigns of a lot of this then we're not
18 going to be able to meet those goals. So being able to
19 encourage customers and not disincentivize, you know, market
20 actors to do both energy efficiency and then generation I
21 think is going to be key.

22 MS. BROOK: Great. Great. That was really great
23 information that I took so many notes on so many different
24 pages, I'm going to have a hard time -- I wanted to suggest
25 maybe one more way that we could help.

1 When I heard that -- I heard data access, and I heard
2 risk assessment, and so to me the government should -- could
3 certainly help in providing much more information about
4 control groups and what does the -- what does the, you know,
5 granular time sensitive data -- energy used data look like
6 for any population or subsectors or anything so that you can
7 help decide whether, you know, how much efficiency savings
8 ought to be, you know, achievable in certain market segments.

9 The Energy Commission's going to be getting customer
10 level data from utilities and we're going to keep it
11 confidential but there's no reason why we couldn't provide
12 information to all the market actors to do a much better job
13 of understanding risks around portfolios of energy savings.
14 So, I suggest you ask us to do that. Or not. If it's not a
15 good idea, we have better things and other ways to spend
16 money so we don't have to do that.

17 I thought the -- an interesting thing that came up a
18 couple times were the silos between efficiency and electric
19 transportation, or efficiency and self-gen and I think that
20 coordination and some of it is just us talking to ourselves,
21 right. Because, you know, we do have a really strong and
22 growing transportation electrification program at the Energy
23 Commission and us as well as many other people are funding
24 charging infrastructure across the state.

25 And I heard at a heat pump symposium that getting the

1 electric panel upgrade to get paid for by the electric
2 vehicle charging programs is sometimes the only way that they
3 can get the upgrade to happen because the heat pump -- the
4 efficiency programs don't have the bandwidth in terms of
5 funding to pay for upgrades or really just changes the whole
6 cost-effectiveness calculation.

7 So those types of couplings and coordination just
8 seem like again to scale not only efficiency but carbon
9 reductions in the state -- it seems like those are the kind
10 of coordinations that we're going to have to think about.

11 So any way I wanted to open it up to first the
12 Commissioners to see if they had any questions, and then to
13 the audience.

14 COMMISSIONER MCALLISTER: So, I guess, really, I
15 mean, we, you know, I think we're pretty -- this is a fairly
16 a familiar group here and I'm pretty aware of what our
17 panelists do already and don't want to ask questions that I
18 don't really need to ask.

19 But I just really want to highlight maybe provide a
20 little context, you know, we are in California, you know, I
21 guess I'm not willing to say we invented the Internet but we
22 certainly invented big data. And, you know, we have an
23 innovation economy. And we have, I mean, this -- what's
24 going on in -- out there in the skill that's being applied to
25 the sector is really unprecedented.

1 And we just need to leverage it as best we can. We
2 need to figure out how we can promote it and promote that
3 innovation and, you know, not get in the way of it, first of
4 all but also, you know, promote it in the right directions.
5 And I think we're doing a lot at the Commission to do that
6 but we can absolutely do more and better.

7 And help the marketplace do more and better, you
8 know, so we're trying to sort of take back the mantel of
9 being the repository for a lot of data that's going to be the
10 basis of much good analytics about the marketplace and the
11 contexts of our policy work, right at the Energy Commission.

12 And we're on the side -- we're on the utility really
13 side of the firewall on that, right. We're trying to develop
14 policy for the state of California, working with the Public
15 Utility Commission and all the POUs, the Public Owned
16 Utilities, the DWP and SMUD.

17 But the market there's a -- the flipside of that is
18 that the marketplace needs data. And that's different data,
19 it's more real time data, it's more customer focused data, to
20 help the customer make decisions. You know, we've talked
21 about, gosh, wouldn't it be great if we could -- in the
22 morning, you know, we talked about really we need to get as
23 far as we can with people voluntarily making these choices.

24 And we're, you know, we have 40 million people that
25 have 14 million structures or however many it is. There are

1 a lot of decisions that need to be made out there and, you
2 know, if I propose mandating, you know, something big and
3 bold well that will be the last thing I do at the Energy
4 Commission.

5 You know, political will is something that we need to
6 be very careful with how we invest in, right. And so, anyway
7 I -- I guess the upshot is tell us what beautiful things
8 better access to more data will enable you to do so we can
9 try and make it happen. And it's a big lift, you know, it's
10 not -- there's a lot of sensitivities and rightly so about
11 privacy and about, you know, sort of the vulnerabilities of
12 cyber security and all of that.

13 But those are dealable and certainly there are other
14 sectors where I think that's even more important or at least
15 more the downsizer, you know, even bigger, right, than just
16 consumption data. But I think there's lots of creativity out
17 there that we would never think of inside the Energy
18 Commission that this building, you know, it's just not going
19 to happen in a state agency. There's incredible innovation
20 going on out there and we can assess it for the good of
21 California.

22 So how do we do that and please tell us and we will
23 make it, you know, as front and center as we can so that we
24 can work on it making it happen in a formal setting. So. I'm
25 just going to -- again, it's sort of -- this process is for,

1 you know, it's as much for you, the stakeholders and the
2 public, then it is -- as it is for us. Because we don't know
3 what to do unless you tell us.

4 So let's, if anybody has questions in the audience.

5 MS. BROOK: Anybody have any question from the
6 audience?

7 MS. PAOLO. Hi. Thank you. My name is Lisa Paolo; I
8 work here at the Commission. And I -- it was really great to
9 hear all the comments about the silos being barriers and, you
10 know, years of regulatory framework that have developed and
11 grown up within these silos making it really challenging.

12 I was an Integrated Demand Side Management Program
13 lead for many years in Energy Efficiency and they're trying
14 to get the IOUs to break these silos was really challenging
15 because of all the things you mentioned.

16 The Commission did establish certain regulations and
17 guidance that would -- or hopefully to open the doors to
18 breaking silos. For example, one of the Commission guidance
19 was Energy Efficiency funds could be used to promote soft
20 generation and other kinds of technologies within an Energy
21 Efficiency program as long as those funds were not used for
22 capital costs and incentives, but to promote marketing and
23 other types of program activities.

24 So after years of doing this, and still no major
25 improvements in this area, we now have this 3P effort where

1 the Commission is kind of taking a back seat, maybe that's
2 not the right word, but hands off and also directing the
3 utilities to take a hands-off approach on program design.
4 And also heard the distinction between program design and
5 market transformation.

6 So there's concerns still, though, that we may not
7 see the level of innovation that we're hoping to see --
8 innovation is a major reason why we have this 3P effort to
9 give it to the third-parties and let them come up with
10 hopefully integrated strategies. We'll see how that plays
11 out and hopefully a lot of lessons learned.

12 But the point I want to make is over the years -- I
13 also worked on CSI for a while and even despite the
14 Commission trying to propose guidance to eliminate these
15 barriers, the market itself is slow to respond. So, I think
16 it's important not to forget that the market viewpoint is
17 also responsible for some of this, you know, these silos, you
18 know, as long as they're getting their incentives for the
19 solar sector for example, they're fine, they don't need to
20 integrate.

21 So I just want to make sure -- it's kind of a
22 leveraging between regulatory guidance and market response.
23 And just because the regulatory guidance is there, doesn't
24 mean the market is going to respond. So how do we bridge
25 that divide? What is the, you know, magic formula for this?

1 So hopefully we'll learn a lot with the 3Ps but we don't see
2 the level of innovation we're hoping to see that breaks down
3 these barriers. Hopefully we'll learn something from it. I
4 don't know what the answer is but it's important to keep that
5 in mind. We'll see what happens.

6 This is more of a comment, I guess. If anyone has
7 feedback on that, I'd love to hear it.

8 MS. O'NEILL: Could I jump in.

9 MS. BROOK: Go ahead.

10 MS. O'NEILL: Real quick. I appreciate the comments
11 and, you know, I think it's been an ongoing challenge and I
12 appreciate the Commission's willingness to try to breakdown
13 silos where it can. I think to your example about a customer
14 who engages in CSI or has engaged in CSI, and the California
15 Solar Initiative, for those following along and then I think
16 we still have the missed opportunities.

17 So right now, a lot of -- solar is -- for example, is
18 easier to understand, it's a little sexier, they have a lot
19 more marketing dollars that they are putting towards it. And
20 so, maybe that you choose solar first, that doesn't mean that
21 there's not efficiency opportunities there that would benefit
22 that customer and, you know, the state as a whole by reaching
23 that consumption. Where I think we have a challenge is that
24 customer then like for an industrial customer for example,
25 you have to subtract out that generation from kind of the

1 eligible energy usage. And that really hand stings our
2 ability to find viable projects and meet those ROI
3 requirements for our customer.

4 And so, you know, while I think it would be ideal
5 obviously if they do energy efficiency first, I think we have
6 to acknowledge that customers have their own business reason
7 and emotional reasons for doing things and we also need to
8 meet them where they are in their journey and make sure that
9 the policy allows for that to happen instead of trying to
10 force them in to kind of our confines.

11 DR. NEIDERBERGER: Yeah. So interesting coming -- I
12 didn't realize that Energy Efficiency funds could be used for
13 renewable and EV outreach. But on the other hand, it hurts
14 the TRC then. If you spend money on a nonresource activity,
15 that's not going to lead to more energy savings, so there's
16 still that.

17 And also, you know, we're in the middle of this
18 third-party RFA/RFP process and, you know, you see the way
19 the RFAs are written. Some are the way the RFAs are written
20 some of them are explicitly saying, we only are going to
21 cover HVAC, for example. So they explicitly say you can't
22 cover these other things, you can't offer an integrated
23 proposal anyway. So we need definitely to work harder on
24 this integration issue.

25 MS. BEST: Yeah. And I think I'll just to play on

1 both of those comments but add one more. I think that all
2 your work on IDSM was helpful to grease the skids for the
3 really breakthrough which I think came in the IDER proceeding
4 and having that being taken up by the Commission was a really
5 important thing. It's a multipronged beast in many ways but
6 I think it -- the intent -- intent-wise it is doing the right
7 thing to try to integrate and think how things fit together.

8 Completely agree with you with respect to how the
9 market can respond. I think what we're mostly referring to
10 is kind of the systematic kind of structures that are --
11 sometimes they're even implied or they're historic and people
12 may not know the new rules for these different little
13 buckets. But also I think in the IDER procurement processes
14 as well, you see just different vendors EE and others they
15 don't quite know how to talk to each other yet. And how they
16 create value propositions that can come in and be
17 competitive.

18 So you're right, it's going to take a little bit of
19 time to respond but it's also important that -- oh, I spawned
20 another question, that they have the opportunity to do that
21 too.

22 MS. PAOLO: No, I just wanted to follow up. The
23 whole -- I agree, this whole attribution issue was a major
24 challenging when we were trying to promote IDSM, way back,
25 like almost a decade ago because how do you attribute savings

1 to solar and energy efficiency.

2 So, the whole hope with NMEC is, you know, that will
3 also -- right now the Commission has allowed, you know, some
4 activity kind of measured activity and that, you know,
5 basically, throwing up the whole thing open to program -- you
6 know, incorporating in program design. But hopefully we'll
7 start seeing that more and more kind of help break these
8 silos.

9 And so there's another point but I forgot what that
10 was. But so anyways, I appreciate it. I just wanted to
11 follow up and this will be really interesting to see where
12 this goes

13 MS. O'NEILL: Yeah. On that real quick, I do want to
14 just going back to -- sorry you can -- could you take a --
15 you know, while NMEC is kind of new to California I want to
16 make sure that people are aware, like especially for
17 strategic energy management programs, we've been doing those
18 for over a decade across North America using NMEC.

19 Carmen mentioned, you know, NMEC was a methodology
20 for EXPOS. So, you know, I think, it's new and innovative
21 but again, it's that difference between the customer
22 engagement the marketing approach versus the platform
23 methodology and so where the innovation happens.

24 MS. BROOK: In the interest of time, this will be the
25 last question.

1 MS. CLINTON: This is Jeanne Clinton, I spoke
2 earlier. As I've been listening, I've heard some ideas about
3 how to make incremental progress, how to fix this or fix that
4 or needing to get out of silos. And I want to encourage the
5 Energy Commission in its IEPR process to consider more of --
6 not more but adding a visioning process to this year, that
7 would sort of look at how do we leap ahead to not having to
8 worry about silos and not having to worry about incremental
9 theses and whatever. But what would a new paradigm look like
10 and how could -- what would it take to get there?

11 And I think we've already seen the solar industry go
12 through this amazing transformation and getting to PPAs and
13 being able to measure stuff, and offset the capital
14 allocations here and there and all that sort of thing. But
15 we don't have such a robust market yet with all these actors
16 on the efficiency side.

17 So I would like to -- specifically as examples
18 encourage the Energy Commission or together with the PUC
19 to -- and CARB to go through something like a visioning
20 process, an ex-prize competition, or working with CALSEPH for
21 instance they're doing a lot of things on entrepreneur
22 business models. That sort of says, what would a robust,
23 active, flourishing, behind the meter market look like that's
24 efficiency, and load management, and clean energy, and EV
25 storage, what would that look like? Do we need new measuring

1 technology? Do we need new ways of valuation? Or do we need
2 a clearinghouse for what actors can be in the marketplace so
3 they're not all trampling on one another, or do we want to
4 have that occur?

5 And so I think we need a visioning effort to get us
6 out of the incremental progress because we don't have time
7 for incrementalism, in my opinion. And I would just cite one
8 example that I think was a good initial start and didn't have
9 the get-go to succeed. And I'm not going to remember all the
10 details but it was about four years go Southern California
11 Edison was going through an all source procurement process.
12 Efficiency was in in the first round and ultimately I think
13 either no efficiency or only one industrial efficiency
14 solicitation got selected. Because most of it was not
15 perceived as incremental to what was already in all the
16 planning documents that were presumed to -- going to happen
17 with the existing programs.

18 So there was no room for innovation. And I -- that
19 was my simple takeaway and I think the reality was well, if
20 it wasn't incremental, it was liked feared you'd be paying
21 twice for the same resource which is a legitimate concern.

22 But I think there are ways to carve out market
23 opportunities for innovation in a way to let things flourish
24 and then you can back off some of the old-style programs as
25 you see new solutions. And I think that kind of thinking

1 somehow should be integrated into the IEPR processes if at
2 all possible.

3 COMMISSIONER MCALLISTER: I just want to respond
4 briefly to that. I really appreciate that comment. So we're
5 a big state, we have a big economy and, you know, I think, a
6 lot of the focus and, you know, rightly so, has been on the
7 sort of the portfolio, the Energy Efficiency portfolio,
8 right. It's a, you know, not only at the PUC but also at the
9 POUs, and POUs have a little bit more flexibility and they're
10 more lightly regulated but, you know, they use the same -- or
11 similar standard practice manual and, you know, kind of
12 similar rules apply.

13 So in order to do I think -- I think and maybe this
14 is a little just speculative and I'd love your comments on
15 what people think. But if you just back up and you say okay,
16 where -- across our economy, where is the capital going to
17 come to do what needs to be done? Where's the, you know, and
18 it's got to be sort of capital that can be used in liberal
19 ways, you know, and creative and innovative ways.

20 And, you know, it may not be that a state agency with
21 all the rules whether it's ARB, Cap and Trade maybe has a
22 little fewer rules, you know, the Energy Commission, we have
23 mandates but they're specific programs, and the Public
24 Utilities Commission has a mandate to really protect
25 ratepayer dollars above all.

1 So maybe there are other sources that we should be
2 looking at and maybe there's a bigger vision we should take
3 to the legislature. Maybe there's something that's a -- just
4 gives -- that has fewer strings attached or at least fewer
5 constraints that could be at the scale that's needed.

6 This is in no way a criticism of any of our agencies,
7 it's just sort of recognition of all the, you know, plates
8 we're trying to keep spinning on the -- and all the kind of
9 constraints we have on our processes and our expenditures.

10 So that vision -- if we had that visioning process,
11 you know, let's sort of try to really step out of our
12 traditional ways of thinking. Because we've, you know, we've
13 produced a lot of success over 40 years. You know, we've
14 spent tens of billions of dollars on efficiency. We've
15 gotten huge results and our economy shows it.

16 But if we're going to do -- if we're really going to
17 ramp up and get to doubling and reduce are, you know,
18 decarbonization our buildings and everything that we've -- I
19 tend to agree with you we need a different way of thinking --
20 of doing things that allow experimentation in a way that's
21 much more fundamental. And that it has the tools in place to
22 recognize success and really replicate that quickly. Anyway,
23 just a thought but thanks for being provocative.

24 UNKNOWN SPEAKER: Do you want to give a hand at
25 the -- are we done? I'm sorry, I don't know if we have time.

1 MS. BIRD: Well so we were planning to break at 2:15,
2 but we were running 5 minutes behind, so we're kind of
3 running into the next, I mean, it -- unless we want to go
4 beyond --

5 COMMISSIONER MCALLISTER: Is it related to this
6 panel?

7 MS. BIRD: -- the 4:00.

8 COMMISSIONER MCALLISTER: Is your question related to
9 this panel?

10 MS. GALAWISH: Well, it's kind of a comment, I think
11 as I heard people talking about the pay for performance and
12 the NMEC. And I don't know how many of you called. But --

13 MS. BROOK: Can you speak into the microphone,
14 please.

15 MS. GALAWISH: We had a standard performance.
16 Standard --

17 COMMISSIONER MCALLISTER: Just pick it up and hold it
18 in front of you.

19 MS. GALAWISH: We had standard performance programs.
20 I forgot how long ago, and with those programs they did pre
21 and post metering before the program was implemented, they
22 were metered, and after implementation they were also
23 metered. So when I hear people talking about those tools
24 innovative, it's just doing what we used to do before.

25 So I would like to see some more innovation because

1 those are -- or looking at what was done in the past and see
2 what failed, what didn't. But NMEC is just a continuation of
3 what stopped several years ago. So just a comment.

4 MS. BROOK: All right. Thank you.

5 COMMISSIONER MCALLISTER: Thanks for that.

6 Heather, do you want to give people the lowdown on
7 our break?

8 MS. BIRD: Yeah. So we're hoping to make up a little
9 bit of time on the break, we planned for 15 minutes, so if
10 you can get back in 10, that would be great. Thank you.

11 So, yeah.

12 (APPLAUSE)

13 MS. BIRD: So, like 10:37, thank you.

14 (Off the record at 2:26 p.m.)

15 (On the record at 2:36 p.m.)

16 MR. KENNEY: All right. So if everybody could take a
17 seat, I'm going to be calling up our next panel.

18 COMMISSIONER MCALLISTER: Everybody want to take your
19 seats again; we're going to get started.

20 Who's the -- hey, Michael, who's the panel? You want
21 to convene the panel or you want to convene the panel? Get
22 everybody seated and we'll get started.

23 MR. KENNEY: All right. So our third and final panel
24 for the day is Opportunities and Challenges to Capturing
25 Industrial Energy Efficiency. Moderator Kevin Uy will be

1 introducing our panelists.

2 MR. UY: Hi, everyone. We'll get started with the
3 workshop again. I'll just do a brief introduction to myself
4 and then the panelists and we'll dive right in to the
5 questions, hopefully we can make up a little bit of time.

6 But my name is Kevin Uy, and I'm the program lead for
7 the Food Production Investment Program which is a cap and
8 trade funded program administered by the Energy Commission.
9 It gives grants to California food processors to implement
10 advanced technologies at their plants. The project have to
11 reduce energy consumption and greenhouse gas emissions and of
12 course must be located at a California food processing plant.

13 We've done a couple rounds of funding totaling \$43
14 million dollars when you add up the awarded and the pending
15 grants, and more funding is going to come later this year.
16 But that's just one of the many funding programs that the
17 Energy Commission implements. We have research for
18 industrial energy efficiency which is the topic here today.

19 So we'll shift our focus over to industry, there's
20 been a lot of talk about buildings but, you know, we
21 shouldn't forget about the industrial sector it's a
22 significant portion of both California's energy sector but
23 also its economy.

24 A few quick facts I'll riff off. It's the second
25 largest consumer of natural gas behind electricity

1 generation, third largest electricity consumer behind the
2 commercial and residential sectors, and the industrial sector
3 is also the second largest GHG contributor just behind
4 transportation. And it's the fourth largest contributor to
5 California's GDP as well. So again something that we
6 shouldn't forget about, it's going to play a key role in
7 achieving the SB 350 goals.

8 And with that I'm going to go ahead and introduce our
9 three panelists. Thank you very much for joining us today.
10 So first off, we have Anna Smidebush, I hope I'm not
11 butchering your name too bad. But Anna is a senior program
12 manager for the Industrial and Agricultural Energy Efficiency
13 programs at PG&E. The program she manages are tailored for
14 energy consumer segments such as food processing and
15 manufacturing, and other participant's energy audits,
16 technical assistance, and financial incentives to reduce
17 market barriers energy efficiency.

18 Prior to PG&E, Anna's background was in market
19 research at the Energy and Efficiency Institute at the
20 University of California Davis, managing studies on diffusion
21 of emerging technology, impacts of codes and standards on
22 manufacturers, and whole building retrofits for multitenant
23 commercial buildings.

24 So thanks for joining us Anna.

25 Next, we have Dr. Ahmad Ganji from San Francisco

CALIFORNIA REPORTING, LLC
229 Napa Street, Rodeo, California 94572 (510) 224-4476

1 State University Industrial Assessment Center. Dr. Ganji
2 received his masters and PhDs from University of California
3 Berkeley. He is a registered professional engineer in
4 California and a professor of mechanical engineering at San
5 Francisco State University where he's been teaching and has
6 supervised energy-related projects since 1987.

7 He's directed the DOE sponsored Industrial Assessment
8 Center since 1992, which performs comprehensive energy
9 assessments for over 500 industrial facilities since its
10 inception, including various large food processing plants.
11 Recently he directed a California Air Resources Board funded
12 project that reviewed a sample of 9 out of 60 audits of the
13 largest industrial facilities in California. The audits were
14 in response to ARB's ruling for emission reductions mandated
15 by AB 32. So thank you for joining us, Dr. Ganji.

16 And finally, we have Christian Lenci from Praxair but
17 also representing the California Large Energy Consumers
18 Association. So Christian is a director of energy and USIG
19 integration at Praxair, Inc. and subject matter expert in
20 industrial gases and most electric -- the most electricity
21 intensive manufacturing process.

22 In his 33 years at Praxair, Christian has worked in
23 15 different roles across all aspects of the business
24 including four years as facility manager at Praxair's largest
25 liquid hydrogen facility in Niagara Falls, New York, 12

1 leading Praxair's west region productivity organization which
2 completed nearly 200 custom retrofit energy efficiency
3 projects totaling \$40 million in capital expenses and \$10
4 million in utility incentives.

5 And eight years managing the region's controls group
6 that designed, implemented, and measured in real time
7 automated energy management strategies at every production
8 facility.

9 Currently, Christian's responsible for electricity
10 and natural gas procurement for the western U.S. and Canada,
11 responsible for procuring and managing a \$100 million annual
12 spend. In 2017, he was elected chairman of the California
13 Large Energy -- sorry, California Large Electricity Consumers
14 Association or CLECA, an organization representing
15 California -- sorry, representing the 15 largest demand
16 response customers in the state.

17 Christian's a graduate of University California
18 Berkeley with a bachelors in mechanical engineering and he
19 resides in Concord, California.

20 All right. So we have a whole bunch of questions
21 here, which you guys have seen but we'll get through as many
22 as we can but we'll try and make sure that we, you know, stop
23 at 40, 45 minutes to make sure that people in the audience
24 have a chance for questions.

25 So I'll dive right in to the first question. Please

1 go ahead and use it as a means to introduce yourself as well,
2 since it is a pretty general question. But the first
3 question is, what are your organizations' energy efficiency
4 goals and what challenges are you facing in achieving these
5 goals? So why don't we start with Dr. Ganji.

6 DR. GANJI: Good afternoon. Thank you for inviting
7 me here.

8 I'm from San Francisco State University, I manage the
9 IEC program. We go to various size of manufacturing
10 facilities and we do energy assessments. We do about 20
11 energy assessments per year including some large -- large
12 processes -- mostly food processing facilities in California
13 that's for the most part that's what's left.

14 And I just want to add that there's a rich market for
15 energy efficiency in the industrial sector. We have audited
16 plants that have potential for 40 percent energy efficiency
17 in their facilities. I think, that's all for now.

18 MS. SMIDEBUSH: So I'm -- being from Pacific Gas and
19 Electric, I probably don't have to tell most of you that we
20 have energy efficiency goals that are mandated by the state
21 and that those goals have to be measurable clearly
22 attributable to our programs intervention and they also have
23 to be cost-effective.

24 In terms of the challenges in achieving those goals
25 in the industrial sector, I think it's best viewed through

1 two lenses, one of them is the challenges that are facing the
2 customers themselves, industrial customers have, you know, a
3 very high costs, they have very complex decision making
4 structures, timelines for, you know, clarifying budgets for
5 the following year. Any investment they make is probably
6 going to be a very large one if it's a crucial piece of
7 equipment.

8 And so, you know, we have to make sure that the
9 programs that are tailored for that space are able to
10 adequately meet those needs and dovetail with their concerns
11 rather than conflict with them.

12 And then the second lens to look at in terms of
13 challenges that PG&E faces is not just the needs of the
14 customer but from us as a utility, what boxes do we need to
15 tick with our regulator, with our stakeholders, to make sure
16 that we are achieving those goals in a way that serves the
17 customer but also, you know, meets all of our regulatory
18 requirements.

19 MR. LENCI: My name is Christian Lenci and just thank
20 you for the opportunity of being able to be here today. I,
21 as you heard, I've been doing this for quite a while and very
22 honored to be able to be here and participate.

23 So, Praxair has a very robust energy efficiency
24 program. We started it back in the 1980's before I actually
25 got started. We have a group of about 20 people in the

1 United States that are dedicated to nothing but electric --
2 about energy efficiency. Our overall goal is six percent of
3 our cost stack -- six to eight percent of our cost stack per
4 year reduction.

5 We capture productivity in terms of a 12-month
6 benefits clock. It's measured using lead statistical
7 analysis to be able to validate the capital expenditures that
8 we make. And so as a result of that, the activities
9 basically have to be ongoing because you only count the first
10 12 months of benefits and yet you're being asked to, you
11 know, reduce cost stack basically, it's inflation and a few
12 other things that you're having to try to negate every year.
13 So, it's a -- it's very challenging.

14 In our industry, industrial gases we separate out
15 oxygen, nitrogen, argon, some rare gas and such out of the
16 air. The air, even in California, is still free today which
17 is a good thing.

18 So our largest expense is electricity. And the
19 reason why we are, in some respects, the tip of the spear
20 when it comes to energy efficiency is it and this is not a
21 misprint upwards of 80 percent of our production cost is
22 electricity. Every truck that we ship to our customers has
23 over 23,000 kilowatt hours of electricity in it. Our storage
24 tanks which are warehouses essentially, are also big
25 batteries of over 1000 megawatt hours of electricity each.

1 So we live in a different realm and as a result of
2 that, you know, energy efficiency in this work is really,
3 really important to make sure we're making the right capital
4 investments and we're doing it in the right geographies.

5 MR. UY: Great. Thank you very much. So the second
6 question and you'll notice the theme with a lot of these
7 questions is basically how can we help industry? How can we
8 better reach industry? But this one specifically is, would
9 outreach and education help achieve more energy efficiency
10 from the industrial sector? If yes, how could such a program
11 be structured? Would it be best done at the state level or
12 at a local agency?

13 Maybe you could take it again, Christian, since you
14 were just talking about how your organization does energy
15 efficiency projects.

16 MR. LENCI: Yeah, sure, thank you. So now we kind of
17 moved a little bit into the -- a little bit more in the
18 weeds. So we have current energy efficiency projects with
19 Praxair occurring in Washington, California, Utah, Colorado,
20 and New Mexico. My world is essentially Albuquerque, Denver,
21 and Winnipeg West. Though nearly 40 percent of our sales are
22 in California, only ten percent of my energy efficiency
23 projects are here. And the reason why that happens is
24 because of the challenge of getting an energy efficiency
25 project, primarily what's called the custom retrofit program

1 validated and approved in the state of California. And it's
2 not -- it's tragic.

3 So I have experienced working in Washington with
4 Puget Sound Energy and several meetings up there with Rocky
5 Mountain Power and their swath of IOU-led geographies
6 throughout several states as well as in, as I said in
7 Colorado and New Mexico, very familiar with all of those
8 energy efficiency programs. My peers handle those for the
9 other sections of the country.

10 And the challenge is, in California, at least under
11 the current environment is that we have, for lack of a better
12 term, an extreme amount of red tape and bureaucracy that in
13 the end, causes us and many other industrial customers in the
14 state to essentially give up on energy efficiency in
15 California and spend our limited dollars elsewhere.

16 We do our work on a return on capital. Some folks,
17 as Anna mentioned have got a -- they'll have a CapEx budget
18 in that year, that if they don't spend it that year, they
19 lose it, and it goes off in some general fund somewhere else.

20 One of the biggest challenges with energy efficiency
21 for industrials in California today is the amount of time it
22 takes to get it approved and then the amount of time it
23 usually takes to go get it executed.

24 Most of our projects are 8- to 12-month execution
25 times and -- but I've have instances where it took me almost

1 two years to get an energy efficiency project approved in
2 California. And even then, the industry standard practice
3 issues as we'll talk about in a little bit, caused us to not
4 implement the largest energy saving option for this
5 particular plant, I'm talking about in Pittsburg.

6 So there's a lot of -- a lot of challenges to try and
7 make this work and it's really not as much of an outreach or
8 educational issue, I think most of my peers understand energy
9 efficiency, it's really wanted to be able to execute within
10 the state and be able to work through the issues and get it
11 done in a timely fashion.

12 MS. SMIDEBUSH: Only two years? Sorry, a little joke
13 for anyone who's participated in custom retrofit program.

14 So I'll echo the challenges that industrial customers
15 face when trying to participate in custom fit -- retrofit
16 programs. And it dovetails into the question of how do you
17 do education and outreach for these customers or for that
18 industry to promote energy efficiency?

19 And you really need to have programs that are
20 tailored to the needs of the customers. You can -- if you
21 take a general approach to outreach and education, you might
22 not actually be applicable to any given site in particular.

23 And so really we found more success in say in our
24 recent -- recently deployed Strategic Energy Management
25 Program which is a program model which goes to the site level

1 and tries to change the culture and behavioral practices
2 within that site from bottom to top. So that you can -- you
3 don't just teach the decision makers who maybe already know
4 about energy efficiency but struggle to, you know, get
5 projects through the existing processes, you empower the
6 whole organization to pursue those things as a unit.

7 And, I think in terms of education outreach that
8 would be administered by a different entity, which is I think
9 the question, is more -- would be the most beneficial if it
10 was tailored to specific end uses perhaps for industry
11 professionals. You know, because of the incredibly diverse
12 ways that different industries, different sites use
13 particular technologies, it's not necessarily enough to know
14 a little bit about industrial energy efficiency, you need to
15 know about a lot about something in particular. Say
16 compressed air might be used very differently in two
17 different types of processing or manufacturing.

18 Or, you know, you could have two sites owned by the
19 same company sitting next to each other with the same end
20 product and the contents of those facilities in terms of the
21 age and model of the equipment, the layout, the energy usage
22 could be entirely different. So I guess my -- the point that
23 I want to make overall is any approach to this customer
24 segment needs to be deep rather than broad. And that -- that
25 is -- it's hard to cast a wide net if you need to -- if

1 you're trying to go for that deep engagement, that's kind of
2 the challenge that we have in that industry as a whole.

3 DR. GANJI: I would bring a little bit of different
4 perspective to the question. We deal with, of course, the
5 smaller manufacturing facilities but still at large scale but
6 nothing like Praxair plants, essentially.

7 These are -- a good number of these plants are really
8 are not aware -- do not have the awareness about the energy
9 efficiency or what they could do at their plants. And our
10 audits actually result in 60 percent implementation rates
11 without really paying much attention to the incentives that
12 are paid by the -- by the utilities. We work in territories
13 of different utilities, both IOUs and also municipal
14 utilities.

15 I believe that industry focused education for energy
16 efficiency will be effective and anything -- any education
17 should be local so that people can travel or the facility
18 people or the operational people can travel easily to the
19 place, should be within driving distance. And of course, it
20 should be done by people who are well familiar with the
21 industry and there are those type of people that can be --
22 that can be located and it should be included -- it should be
23 at the plants, at selected plants, actually, so that people
24 can see the effect of energy efficiency, actually, real
25 cases.

1 COMMISSIONER MCALLISTER: Kevin, can I ask a question
2 to the panel?

3 MR. UY: Yes, go ahead.

4 COMMISSIONER MCALLISTER: I wanted to just build on
5 that a little bit.

6 So I guess I'm wondering about the, I know, it's hard
7 to generalize, but I guess I'm going to ask you to do it
8 anyway.

9 Wondering sort of what the opportunities are in industrial
10 sector? I myself had a career doing industrial load
11 management and did some rate design and things like that in
12 other countries not in California, but so, you know, there
13 were various types of projects, there was a lot of kind of
14 incrementalism, you know, as Jeanne said sort of around the
15 edges. But then there also big process changes that
16 potentially we can do. You know, we're always talking about
17 electrification and, you know, large heat pumps like in
18 aggregate, you know, coordinating heating and cooling in a
19 way that leverages both and all this kind of thing.

20 The heat pumps are coming in to the market. I was
21 just over in Denmark in, you know, in and around Copenhagen,
22 they're just doing a lot of really interesting stuff on
23 industrial agricultural and, you know, large scale energy
24 efficiency in that sector and we're going to try to work with
25 them, you know, bring some of them over and do a little MOU

1 with them.

2 So what -- are there transformative opportunities,
3 and this is more for Christian, but are there transformative
4 opportunities where, you know, with a pretty significant
5 capital investment can really sort of change processes in a
6 way that kind of is a game changer in terms of the, you know,
7 emissions profile of a given industrial process?

8 MR. LENCI: Yeah, there definitely are. I think the
9 areas outside of and the future question was I think it's
10 batteries, LEDs and electrification for some transportation.
11 The ones that we deal with, Commissioner, are primarily
12 related to compressors. It seems like the main compressors
13 and pumps, it seems the rise of big data and the ability of
14 getting massive competing power has created almost a whole
15 revolution of rebuilding compressors.

16 And the compressors I'm talking about are ones that
17 would consume electricity for a small city. I have one, for
18 example, a turbine project that we've submitted with PG&E.
19 It went 20 months it got refused, we never did the actual
20 measure because it was denied, it was 1.1 million kilowatt
21 hours a year which is equivalent to -- what was that number,
22 1,157 homes would have electricity annually or a city of 2700
23 people and this is one project. Oh, and did I mention that
24 the 1.1 million-kilowatt hours savings was all in the summer.

25 So it didn't happen, it was an industry standard

1 practice issue where I -- we were asked to go to our
2 competitors, there's only seven of us that make these special
3 turbines that technology is enabling us to figure out how to
4 make more efficient. And I was instructed by the Energy
5 Commission to go to my competitors and find out what their
6 standard was so we could compare to find out if our
7 technology was better.

8 And I'll just tell you if I did that, I would get
9 fired. The only two companies that do this in the world,
10 General Electric and Atlas Copco are both our competitors and
11 our suppliers and going to them and asking them about the
12 efficiency curves of their turbo machine equipment, it
13 would -- the conversation wouldn't get you very far.

14 So in the end because I was unable to supply industry
15 standard practice data, the project was denied, that was
16 three years ago. The turbine's still running just the way it
17 was it was, the technology still exists, but we're unable to
18 execute.

19 COMMISSIONER MCALLISTER: So for example that project
20 or, you know, your process, I mean, like you said, you're
21 electric intensive, I image you're running 24/7?

22 MR. LENCI: Oh, yeah.

23 COMMISSIONER MCALLISTER: Yeah. So are they -- and
24 CLECA, you know, I think we've talked with them over the
25 years about, you know, demand response and sort of the pluses

1 and minuses of participating in their response, I guess, did
2 these sorts of investments like if you were to make that
3 investment, would you also be able to provide sort of a
4 enhance grid responsiveness. Is there any way, I mean, I
5 imagine you're focused on -- you have a pretty flat load
6 shape, you know, you've got 24/7 but could you respond say in
7 the summertime if we had a capacity crisis, could you drop
8 load and do that in a way that didn't affect your business to
9 negatively?

10 MR. LENCI: Absolutely. And, so Praxair and many
11 other CLECA members are members of and participants within
12 DIP as well as PG&E has got this really cool innovative pilot
13 going on right now called the Economic BIT program which
14 through Franklin Frickes and Crew, we are members of actually
15 now for the second year. And where we're trying to
16 understand in a CAISO market system how we can use that
17 demand responsiveness and then actually adjust our load based
18 on what the actual needs are in a day ahead real time market.

19 So, yeah, we're doing that as we speak.

20 COMMISSIONER MCALLISTER: This is great, thanks.

21 If anybody else wanted to comment on this?

22 DR. GANJI: If I may. Actually, from our experience
23 in the past over 25 years, a majority of energy efficiency
24 comes in supporting equipment for these plants. In a food
25 processor, like a tomato processor, which we produce 90

1 something percent of the tomato for the country, the major
2 user of energy is from the broiler system and a steam system.
3 And the energy efficiency is related to those systems and a
4 good number of these plants, a majority of these plants have
5 large amount of refrigeration equipment and energy
6 efficiency's related to those, how to control it, how to
7 better utilize the present equipment, of course, if there are
8 increase equipment with better efficiency. Compressed air is
9 a major issue.

10 All of these support equipment consume most of the
11 energy at least in a majority of the plants that we have
12 audited. There are -- there're exceptions, I mean, what
13 Praxair system and you -- and refineries are exceptions, but
14 the majority of the industry are -- it is with the support
15 equipment.

16 MR. LENCI: I guess I'd say that we're kind of like
17 that other than our support equipment is our process. We
18 compress air and that's about a third of our -- a quarter of
19 our energy expense and then we -- after we separate it then
20 we liquefy it.

21 DR. GANJI: Yeah.

22 MR. LENCI: And that liquefaction is three quarters
23 of it and essentially that liquefaction is just a big HVAC
24 unit with a really, really big compressor.

25 DR. GANJI: Yeah.

1 MS. SMIDEBUSH: I think, I'll just add on one thing
2 that echoes pieces of what both Ahmad and Christian have said
3 which is that, you know, Christian mention that his company,
4 you know, Praxair has energy, energy mangers that got, you
5 know, very clear visibility into the opportunities that they
6 have at a particular site. Whereas, in Ahmad's experience as
7 an implementer, you go in to a smaller shop and they have no
8 idea. They can point to the meter, maybe, but you know,
9 there's no visibility on what systems are actually using.

10 And so I would say that one of the biggest
11 opportunities aside from, you know, to specific technologies
12 is the metadata about how those are functioning. So energy
13 information -- or energy management information systems
14 where, you know, the energy manager doesn't even need to be
15 on site, they've got a screen, they can screen share it with
16 any consultant who wants to help them identify opportunities
17 and get real time information about how all their equipment
18 is functioning.

19 MR. UY: And I'll just respond very briefly to the
20 Commissioner's question and say that, you know, at least, in
21 our experience with the food production and investment
22 program, there is still a lot of low hanging fruit, so to
23 speak, 20-, 30-year old pieces of equipment that need
24 replacing that doing that alone by replacing it with, you
25 know, modern standard equipment will save, you know, millions

1 of therms and millions of kilowatt hours.

2 And so there's a large opportunity in the near term
3 to reduce greenhouse gas emissions just based solely on
4 replacing old equipment. But as far as transformative
5 technologies go, I would say that a lot of R&D still
6 definitely still needs to be done. You know, there's
7 opportunities with solar thermal, you can electrify some low
8 temperature heating loads but higher temperature processes
9 like oil and gas refining, and chemical manufacturing, and,
10 you know, smelting metals and things like that, really
11 technology needs to be developed if we're ever going, you
12 know, make significant GHG emission reductions in those
13 applications.

14 Okay. Well, the next question, I think, is
15 definitely for you Anna. And it's how do local utilities
16 support industrial customers in achieving their energy
17 efficiency goals?

18 MS. SMIDEBUSH: So I think it was, do they? My
19 response is, gee, I hope so. We have -- we have a big
20 portion of our energy efficiency portfolio is geared towards
21 industrial customers. As I mentioned, a big piece of that is
22 the customized retrofit programs which, you know, take a more
23 in-depth look at what changes are being made, offer technical
24 assistance, and identifying those opportunities, pre and post
25 calculations around the installation of that equipment and at

1 the end, you know, upon verification where customers use an
2 incentive for that.

3 We do also have some component of the more off the
4 shelve plug and play deemed kind of measures although,
5 because of all of these very broad unique -- or these unique
6 end uses at sites, you know, there's not as much opportunity
7 for those standardized approach like, you know, you can
8 assume that many plants will have pipes that need insulating,
9 or tanks that need insulating, or lighting that needs to be
10 swapped out. But after those opportunities are taken up, you
11 really are looking at those more in-depth approaches.

12 And that's were strategic energy management which
13 has -- uses an NMEC platform but has the delivery model of
14 this very in-depth cultural change ground up approach I
15 mentioned earlier. And for programs -- or for customers that
16 don't quite fall into any of those, there's financing
17 options, the on-bill financing that we offer for customers to
18 acquire loans to help finance their energy efficiency
19 projects.

20 And thanks to a lot of advocacy from trade
21 organizations and large customers we've been pushing for the
22 increase of loan caps for the OBF program so that they can be
23 more applicable. I think previously loans were capped at
24 around 100,000 per site and now we're looking at 250 to start
25 with, with exceptions made for up to 4 million per site.

1 Which is far more impactful for these large customers who
2 need to be making big investments all at once.

3 So that's kind of the quick rundown of the variety of
4 things that are available to customers. But really when it
5 comes down to whether or not they're effective, it's in the
6 implementers who go out into the field and administer those
7 things and also, for the portion of the portfolio that
8 remains in-house, and how they utilize the network we have
9 with customers to make sure that we're communicating with
10 them, listening, and meeting their needs.

11 MR. UY: And how would customers learn more about
12 those energy efficiency programs? Is there a web page or--?

13 MS. SMIDEBUSH: I'm so glad you asked. So most large
14 industrial customers will have a PG&E sales representative
15 already assigned to them. If you don't, you can request them
16 just by calling into, you know, the regular customer service
17 line and saying, hey I'm a customer, I would like to learn
18 about energy efficiency options. And someone will be able to
19 get you more information about that.

20 But for -- generally speaking for the large
21 industrial customers, somebody's already on the phone with
22 them on a regular basis. And they're usually the conduit for
23 marketing a lot of our third-party programs and they work
24 closely hand in hand.

25 MR. UY: Sounds like you want to weigh in, Christian?

1 MR. LENCI: If you don't mind, yeah. I guess, I'd
2 like to say first, that being the customer at the other end
3 of the pike here that I think PG&E and especially SCE have
4 been really good partners in the drive to improve industrial
5 energy efficiency.

6 As Anna mentioned, through some which we're
7 participating with in the pilot down with SCE in Southern
8 California with the financing, with the in particular as we
9 said all these unique facilities are custom retrofit
10 programs. They do a nice job trying to tee up an
11 opportunity, the challenge has been is getting the projects
12 across the finish line.

13 And I got some data from SCE last week and, I mean,
14 let me just share it with you. So 17 percent of the
15 industrial load on megawatt hour basis is consumed by
16 industrial customers for Southern California Edison. They
17 are currently meeting their overall energy efficiency goals
18 but they're being met by increasing share of residential EE
19 programs.

20 In 2016, the nonresidential component of energy
21 efficiency for Southern Californian Edison was 60 percent of
22 the total megawatt savings. In 2017, it was 45 percent. In
23 2018, it was 29 percent. The energy efficiency programs
24 in -- for industrials contributed 13 percent of the overall
25 results in 2016. In 2017, it was 4 percent. In 2018, it's

CALIFORNIA REPORTING, LLC

229 Napa Street, Rodeo, California 94572 (510) 224-4476

1 less than 2 percent. They estimate that less than -- and
2 this kind of gets to Dr. Ganji's comments, less than 0.1
3 percent of industrial customers in their service territory
4 participated in energy efficiency program last year.

5 So and this is the data. I would submit that the
6 challenge we have with regards to getting projects approved
7 and it's happened in my company and it's happened in our
8 members' companies within CLECA, they're just taking their
9 limited amount of effort and limited amount of money and
10 going to states with more productive, more assured, more
11 quantifiable, and executable energy efficiency programs. I
12 know we have.

13 And I know several of our member companies that have
14 actually said they're not going to do EE projects because
15 they've been approved then changed or they had a really bad
16 experience and said, we're not going to do this anymore.

17 So I don't know what the issue is but I know it needs
18 to change. I'm a native Californian, my son was born here, I
19 have three daughters I want them all to live in California,
20 hopefully they'll be engineers in STEM and work in
21 engineering, and work in industrial companies perhaps. And
22 we've got to make sure that we are helping these companies be
23 sustainable, helping them to become more energy efficiency,
24 and using our dollars whether it's through the CPUC or
25 through the CEC to be able to enhance our competitiveness so

1 that they can compete on an increasingly worldly stage.

2 MS. SMIDEBUSH: And I'll echo that as well. For
3 PG&E, the penetration rate for -- or the participation rate
4 for industrial customers in energy efficiency programs has
5 been around two percent. And they're similarly the
6 contribution to energy savings goals has been diminishing
7 year over year. And we also have heard as the ear on the
8 other end of the telephone a lot of the frustration from
9 large customers and small customers. Anyone who's got the
10 constraints that an industrial customer has, trying to
11 participate in our programs and that it is not -- it is not
12 easy.

13 You know, and I want to go back to something I think
14 Joanne said in an earlier panel about needing to be fast.
15 And I'm not sure that people these days look at utilities and
16 think gosh, aren't they fast. And that when -- as we
17 approach this new world of third-party programs, we're
18 mandated to be 60 percent of our energy efficiency portfolio
19 to be operated by third-parties by the end of 2022 and that,
20 you know, we're currently in solicitations to start bringing
21 in those new contracts.

22 We hope that the market will bring us some of these
23 innovative solutions that will help get these hard to reach
24 customers these -- the strength of potential of the
25 industrial sector and help them access the funding that they

1 can.

2 MR. UY: Thank you. I'd like to just jump all the
3 way to the last question and, it's basically what can we do
4 to help? So can the Energy Commission support the industrial
5 sector in addressing the barriers you faced in achieving
6 energy efficiency? What other government agencies may be
7 able to address these challenges? So, what do think the
8 state can do to help?

9 MR. LENCI: Well, I think certainly the CPUC has
10 attempted through Track 2 and such of trying to figure out
11 how to restructure their energy efficiency programs. It's
12 taking a long time. Unfortunately to get through Track 2 and
13 I'm still not sure we've got any actionable activities there
14 and that's really unfortunate.

15 The flip side is, is what the CEC has done in
16 particular with the food processor side, is innovative, it's
17 new, it's simplified, and it's created results. And those
18 results benefit not just the food processors but in the end,
19 right. It's the cheapest and most sustainable kilowatt hour,
20 it was kilowatt hour that was never used.

21 So what does EC and the food processors working
22 together are doing I think is a real benefit, not just to
23 them but to all of us. And if we could figure out a way of
24 doing something like that for the industrial community, I
25 think we can get similar if not even better results.

1 MS. SMIDEBUSH: I can echo as well. So I was on
2 board at PG&E during the time that the food production
3 investment program was being launched and that we had, you
4 know, some program participants in our industrial programs
5 and food processing very excited about it. And I think that,
6 you know, FPIP was a very, you know, fantastic opportunity.

7 But when we tried to layer together say,
8 participation in FPIP and participation in our custom
9 retrofit program say, for a customer whose financial barriers
10 are substantial and they might be looking for multiple
11 opportunities to offset those costs that we run into issues
12 with the timelines required for each opportunity, the
13 eligibility requirements, the things that participants are
14 required to do or provide, and that it's really -- it's an
15 opportunity for increased collaboration between different
16 state agencies who might be offering these programs to
17 collaborate early and often and make sure that we're not that
18 program launch day when we get to the question, are utilities
19 actually allowed to provide a letter of commitment about
20 funding for an incentive project? What does that look like?
21 Does it meet the grant requirements for what a commitment
22 letter should be? Things like that. And that the earlier we
23 can have those conversations, the better the results will be,
24 the more people will be able to participate and overcome
25 those market barriers which is the point of both programs

1 broadly overall.

2 MR. UY: Go ahead, Dr. Ganji.

3 DR. GANJI: Okay. I will be a little bit more
4 straight on the question.

5 One will be that the role of CPUC that is, of course,
6 the guardians of the funding of the ratepayer, but at the
7 same time, I believe if it plays the role of guidance, more
8 direction to these programs, more active participation in
9 directing of these programs and advance basically,
10 interfering advance in these things so that approve it and
11 the kind of due diligence on these programs, it will help
12 quite a bit if they listen to the customers that have gone
13 through the difficulties of this program it will help quite a
14 bit to guide in addition to be guardian of the -- the other
15 will be to work with regulatory agencies to ease the path to
16 implementation of energy efficiency programs -- of energy
17 efficiency projects.

18 This is especially true for the case of gas
19 technology. That if people do not implement the projects
20 because they are afraid, they may -- just the kind of phobia
21 that they will violate some air regulations. While if the
22 people on the air side of the agencies work with them and
23 guide them through their regulatory and contribute towards
24 the ease of this phobia, it will help a great deal.

25 MR. UY: Thank you for all that excellent feedback.

1 Sounds like I need to talk to a few of you after or probably
2 all of you.

3 With that, I was going to see if there were any
4 questions from the audience at this time. And if so, just
5 please go ahead and ask.

6 MS. BROOK: This is Martha Brook, oh, yeah, it's
7 working. Hi, I was -- I'm sitting here thinking sure, the
8 meter-based savings approaches it seems like they'd be a slam
9 dunk for the industrial sector. Would you agree with that?
10 And should we be moving in that direction instead of all the
11 calculated custom stuff that becomes a black hole that
12 everybody -- nobody survives?

13 MR. LENCI: Hear, hear. The -- what we do in our
14 world and for the large industrials as compared to the
15 smaller ones, big data has taken over. So and for us, we're
16 collecting in the western United States over 80,000 data
17 points per minute and putting them in the cloud. So of
18 course, all that data includes all the energy data from all
19 the electrical compressors, and all the inner cooler
20 temperatures and pressures, and all the technology that we
21 were talking about early that's out there.

22 We -- we're measuring all of that in real time and --
23 and so when we do our energy efficiency calculations for our
24 own eternal CapEx to go get the money, that's what we do. We
25 go do a baseline. We do, you know, statistical analysis, you

CALIFORNIA REPORTING, LLC

229 Napa Street, Rodeo, California 94572 (510) 224-4476

1 know, for the normal or non-normal data, understand what we
2 believe the actual kW kilowatt hours are in baseline.

3 Then we figure out what we believe the number will be
4 in the future. And in my group, once we end up hopefully
5 getting the energy incentives to go make it work since we've
6 been plucking off that tree for 30 years, that when we finish
7 and implement the project, we just go back to the same
8 dataset, grab the new set of data, compare the two. And my
9 bosses find out whether or not I did my job right. It's just
10 that simple.

11 And the cool part about the technology and the data
12 and the access to data today, is it -- it's just so much more
13 simple than it used to be. It's still difficult, for the
14 smaller industrials that may not have the PLCs the DCSs and
15 the data collection systems, but for all the medium and large
16 size customers and even large commercial folks, data's easy
17 now. And as a result, the quantification of it is so much
18 more simple than trying to figure out how to move the goal
19 posts that sometimes we deal with today.

20 MS. SMIDEBUSH: So I think my response contains a big
21 asterisk which is that by CPUC decision, we are not currently
22 allowed to pursue NMEC methodology in the industrial sector
23 with the exception of the Strategic Energy Management
24 Program. And to that end, I say that I do think Strategic
25 Energy Management is a huge part of the future of programs

CALIFORNIA REPORTING, LLC

229 Napa Street, Rodeo, California 94572 (510) 224-4476

1 addressing the industrial space.

2 In our business plan, we're looking at how we are
3 going to scale this in the future and, you know, we greatly
4 anticipate success of the two programs that launched last
5 year. And that it's also something that in terms of
6 Strategic Energy Management, we are behind the rest of the
7 country. You know, there have been I know various folks in
8 the audience have mentioned throughout the day that this is
9 already happening elsewhere and that we need to catch up.

10 And in terms of using NMEC for the channels which we
11 currently can, yes, I absolutely think that's where we should
12 be focusing a lot of attention.

13 MR. UY: Go ahead.

14 MS. PAOLO: Hi. Okay. Lisa Paolo, I'm in energy
15 efficiency, I'm currently the lead for Industrial Energy
16 Efficiency Programs so this has been a great informative
17 discussion for me.

18 I hear Christian what he's saying, that a lot of the
19 complexity and calculating savings for measures within the
20 industrial sector, getting those approved, have contributed
21 to lots of delays, I do agree that that's part of the
22 program. I think there's other problems, though, in this
23 sector. Why we are seeing the decline in participation from
24 the industrial sector related to just the complexity, in
25 general, for these customers to identify an Energy Management

1 Plan, site specific, the engagement that those customers need
2 to have to even participate in a program. So, I don't think
3 that just that, that complexity of how to calculate the
4 measured savings is the only reason we're seeing this lack of
5 participation.

6 I'm glad that SEM has been brought up. The
7 Commission for again, over a decade starting with the
8 continuous energy efficiency -- energy improvement, CEI, has
9 been trying to analyze this type of program approach to see
10 if it makes sense in the industrial sector. And that's why
11 we see the SEM program today because the commission did
12 recently for this cycle approve that approach after years of
13 workshops and talking to experts in the field. So it'll be
14 interesting to see what we learn from this initial effort.

15 One thing I wanted to ask, though, I actually do have
16 a question. Is part of the current SEM program structure is
17 this idea of a cohort approach because again another
18 complexity for the energy efficiency -- or the industrial
19 sector is the cost involved -- the program cost involved to
20 actually go to those customer sites, work with the customers,
21 do on site energy audits, try to identify, you know, what
22 makes sense for that customer. So, that's another barrier in
23 this sector.

24 So the current SEM program is trying to pilot this
25 cohort approach where you get similar industrial customers in

1 similar industries to come together and through a series of
2 educational workshops that utilities promote and lead the
3 customer identified under the Action Plan. Part of this
4 requirement, you know, objective is also pointing persistency
5 with this amount of investment, public funds is going into
6 this sector to promote energy efficiency, the idea is to see
7 persistency. One way of doing that is to have on site energy
8 champions that remain after the utility engagement is
9 completed.

10 So I guess my question is, I've heard a lot about the
11 various end uses might be good to go from that approach but
12 it's onsite specific strategy. Does the cohort approach make
13 sense for the long term? We're already hearing that there
14 might be challenges in terms of location of the different
15 customers, like one might be located in Northern California
16 versus Southern California. It's hard to have a cohort
17 approach where you have to come together in workshops when
18 there's this regional difference. So that will be one of the
19 lessons learned we probably will learn about.

20 But aside from that, do you guys have any input or
21 insight on how this cohort approach could work or how it
22 might not work? Just curiosity.

23 MS. SMIDEBUSH: Thank you for the description and the
24 question. So, a quick point to clarify, one of our there's
25 two SEM implementers currently and one of them is taking the

1 cohort approach and the other is taking a site individual
2 approach. So, at the end of the engagement of both of these
3 programs we should hopefully be able to have some lessons
4 learned from both and be able to make a better value
5 judgement about cohorts using that.

6 I definitely agree and have heard the same that
7 sometimes picking the right geographic location for in person
8 workshops is a challenge especially if you want to get lots
9 of engagements from a particular site, they might have, you
10 know, or if you're trying to get someone at that meeting
11 whose time is very highly prioritized on other things that's
12 definitely a challenge.

13 And I think that as we look towards scaling that's
14 something that we'll have to overcome but the benefits of
15 having a cohort as we've, you know, a theme of our discussion
16 has been a lack of information is a challenge. And that when
17 you put a lot of actors in the same room who may, if they are
18 not direct competitors be able to share best practices, or
19 have a little friendly competition that networking as a
20 cohort is important too. There's a combined networking
21 competition isn't always, but that, that's something that
22 would be an advantage moving forward but I'm very open to
23 hearing perspectives of actual participants about how they
24 feel about it.

25 MR. LENCI: So, Praxair started in the one of the

1 original BPA pilots back in 2008 up in the Pacific Northwest
2 and was member of some for two or three generations worth as
3 it kind of moved through BPA in to the utilities and then
4 elsewhere around the country. As I mention we're currently
5 spent with Southern California Edison's program which I think
6 is more of this cohort approach. So, it there's -- I echo
7 Anna's comment, she right on I think the best practice
8 sharing of understanding of what's happing in energy
9 intensive yet unrelated industries is really valuable.

10 I have -- we have bunch of kids, I would say, folks
11 over 15 or 20 years' experience that are operating our
12 facility down in Ontario, California, it's a liquid hydrogen
13 plant and they're -- they have gotten an awful lot out of the
14 STEM because they see their energy issues and challenges and
15 the talk to others in unrelated industries but also energy
16 intensive. And there's this comradery of challenges that at
17 some point everyone roles up their sleeves and tries to help
18 each other. And I think that works really, really well.

19 Unfortunately, and was fine, my first question when I
20 heard about some here in California was are any of my
21 competitors included? And the answer was, no. And that was
22 the right answer and we were able to sign up. Since there's
23 only like four or five of us, I just can't and won't reveal
24 what sort of technologies and thoughts and practices and
25 energy management strategies we may be doing in our company.

1 I'd love to hear what they're doing. But I'm not going to
2 tell them what we're doing.

3 And so, I think if you end up having similar
4 industries or the same industries in the same room, I think
5 it actually has a retroactive negative effect, you know, you
6 actually go backwards. You kind of don't get that sort of
7 critical mass of communication that you're looking for.

8 So, I think, there's a balance there but I think that
9 there's a way that it can be done and I certainly applaud
10 what PG&E's trying to do in terms of testing the waters to
11 figure out which way may be more effective here.

12 DR. GANJI: If I may, I went through the SEM program
13 and it had that effect of creating a silo of being very, very
14 prescriptive, and limited the implementer on how to approach
15 it. Any program that is that limited if they abide by all
16 the limitation that was prescribed in the manuals for that
17 program, would have difficulty unless they kind of bypass
18 some of the limitations that they have and the utility or
19 CPUC agrees you do that.

20 MS. SMIDEBUSH: Are you talking about the SEM design
21 guide.

22 DR. GANJI: Yes. It was very prescriptive and I hope
23 the future programs it can be adjusted or any other program
24 let the implementer have his own method and innovations with
25 the end result be properly met.

1 (Unidentified speaker didn't go to mic)

2 MS. SMIDEBUSH: I think; the general theme is that
3 we'll be evolving that model over time based on the lessons
4 learned.

5 MR. UY: All right. We'll take this last question.

6 MR. SCALA: Thanks. So, Pete Scala with Energy
7 Division. I just wanted to -- I was confused by some of the
8 responses that you had to Martha's question and I wanted to
9 revisit that for a get some clarity on some things. Can you
10 hear me? Is this working? Okay. Is that working, yeah.
11 Okay.

12 So, I guess, one -- so, when I think -- when I hear
13 about normalized meter approaches I think about whole
14 building and or whole floor depending -- and -- so, the two
15 things that I think about are, first; regardless of whether
16 or -- well, I guess, these investors projects by in large
17 view typically ultimate use sort of metered verification
18 process it's just not whole, right. It's tied to that
19 particular subset of a large industrial facility. It has
20 many different, you know, electric and energy uses going on
21 simultaneously. So, the whole approach isn't always that
22 effective there's too much noise too many other things going
23 on unrelated.

24 And so, I think it's pretty -- and I also, think my
25 understanding is the reason that the estimates are needed is

1 to get an incentive number because you got a chicken and egg
2 problem you need to estimate how much savings a projects
3 going to deliver to get a number out there for what the
4 incentive is likely to be and then you evaluate off of it
5 and, you know, you have sort of a plus delta off of that.

6 So, I'm trying to understand your response is in the
7 context of my understanding of how these work in industrial
8 settings because I think they generally do, you know, A) you
9 do need some sort of estimate to move a project forward and
10 then, B) you might not use whole building but you by in large
11 do some sort of meter-based evaluation or pay for performance
12 type element to a lot of these projects anyway. They're not
13 usually just completely deemed with no meter-based component
14 to them. Is that -- am I wrong about that? Because the way
15 that those answers came across kind of like that's not how
16 this is going.

17 MS. SMIDEBUSH: That's -- you make a very good point.
18 There's definitely baselining that is done using usage data
19 in the custom process that currently exists, you need to do
20 that before and after the project. It's based on what's
21 actually happening, you know, it has to be measured. I think
22 when we talk about -- or when I talk about strategic energy
23 managements usage of the NMEC platform it's I think somebody
24 was talking early about measure attribution and that for SEM
25 in particular the way that it is different is that you're

1 capturing behavior changes, you know, operational changes
2 things that might have a more difficult time being quantified
3 in a manner of a particular -- or the tradition custom
4 process. That's how I would distinguish those two.

5 MR. LENCI: Now, I think you're right on but I want
6 to expand the perspective a little bit to it -- in at least
7 in our world as industrial customer. What the real challenge
8 is which is in part the efficiency incentive but in reality,
9 it's the actual capex of -- so, we've got a project we're
10 executing right now in Utah with RNP. We're replacing a
11 large air compressor, you know, 8,000 horsepower unit so
12 again, we're huge. And with completely new technology,
13 motor's going to stay, stand's going to stay, all new tech,
14 and all the piping, and all the wheels, everything all the
15 baring, everything, it all gets ripped out and new stuff
16 comes in from the new technology that's now out there today.

17 It's a, you know, to be able to do that it's just
18 this one machine and kind of the surrounding components
19 around it so you're not looking at the whole plant you're
20 just looking at this one particular large compressor. And
21 you get the baseline data and, you know, calculate out again,
22 you know, using reams and reams of, you know, 8760s, right
23 hourly data for a year, for maybe a few years. Figuring out
24 what your baseline looks like what it does in terms of
25 weather and seasons and such. And not only are you doing

1 that to go get your energy incentive configured which may I
2 add California's the only state where I don't sign a contract
3 before I sign a contract at the end which I don't get and
4 really have never got.

5 We sign a contract for so be guarantee the money and
6 we know the monies there, and then after that contract is
7 signed then I go to my management to go get the money. And
8 in reality, you know, the incentives \$1.2 million here. The
9 capex is 4 and whether or not I get a million 1 or it's
10 900,000 or something, you know, it's not good but it varies
11 but if I can't deliver on the 4 million capex, I don't have a
12 job anymore.

13 So, the real perspective, right, I guess,
14 [indiscernible] the bigger picture is using the data and in
15 reality, it's in partnership with the utilities of being able
16 to develop a system where I'm sharing the same data set.
17 We're working off the same data. Not only for the energy
18 incentive, but also for my capital investment approval.

19 And we can't do that very well in California, it's
20 very difficult to do because the measuring systems is so
21 difficult, but in Utah, in Washington, in Colorado, in New
22 Mexico that's the ways it's done. It's a partnership between
23 utilities and the industrial customer so we can both go
24 essentially go get the money to help get that ROI to make the
25 project happen. Thank you.

1 MR. UY: All right. I want to thank the -- oh, go
2 ahead.

3 MR. JOHNSON: Hey, Kevin, really quick. I was just
4 going to say; we have one person on the line. Do you have
5 time to take that question?

6 MR. UY: Heather, I think we have to move on.

7 MR. JOHNSON: Okay. All right. Just, yeah, just,
8 Rick if you can hear this, just write it in and we'll get you
9 from there. Thank you.

10 MR. UY: All right. So, I think that concludes the
11 panel, but I do want to thank the panel members very much for
12 participating.

13 (Appause)

14 MR. KENNEY: All right. So, we were now going to
15 move on to our final presentation for the day. This is on
16 Energy Efficiency Market Transformation and we'll be having
17 presenters here from the California Public Utilities
18 Commission and the Public Advocates Office.

19 MR. KANE: Hi, everybody. I'm Hal Kane from Energy
20 Division on the energy efficiency team. This is Christie
21 Torok from the Energy Efficiency Branch and Dan Bush from the
22 Public Advocates Office. We're going to tell you as you just
23 heard about the latest round of market transformation work
24 here at the CPUC and in the state.

25 I'm going to frame it for you and then Christie and

CALIFORNIA REPORTING, LLC
229 Napa Street, Rodeo, California 94572 (510) 224-4476

1 Dan are going to go in to detail on two initiatives.

2 As you may know, it's getting harder in California to
3 capture cost effective energy efficiency. If you look at
4 this slide here, this is 2013 to 2015 and it's -- you can see
5 it on the right this this, SDG&E very clearly the drop-in
6 cost-effectiveness of the portfolio, this whole portfolio.

7 You can see, you know, also on SoCalGas very clearly, not
8 quite as clearly on PG&E and SEC but it's still there.

9 So, we need new approaches to getting new energy
10 efficiency and we have several but of those is market
11 transformation and here's a time -- oh, went backward, here's
12 a timeline of where we are, it's scoped in to our energy
13 efficiency proceeding stemming from SB 350.

14 And late last year, we developed a staff proposal
15 credit to Christie Torok and many people for that and she's
16 going to tell you the details of it in a few minutes.

17 The staff proposal when out through a ruling for file
18 comments to develop a record. We held two workshops where
19 there was a lot of enthusiasm and a lot of interest.

20 And so, at the end of the second workshop, we invited
21 the parties of the proceeding to have a working group. It
22 was hosted by the California Energy Efficiency Coordinating
23 Committee; acronym is the CAEECC.

24 And Dan Bush is going to tell you about the details
25 of that report from the parties which came in just about

1 three or four weeks ago.

2 And the next step I think that a ruling is probably
3 imminent which we'll send that out for comments from the
4 parties to further develop the record and potentially work
5 towards a proposed decision to launch a market transformation
6 framework.

7 The definition of market transformation is long
8 there; you see it on the screen I won't try to read it for
9 you. And one thing that's hard about it is that a lot of
10 different people use the term very differently.

11 What we did, I'm going to tell you the starting point
12 for what we did and then you can tract this. As you listen
13 to Christie and Dan you can see how this evolved through the
14 staff proposal and evolved through the joint party's report.

15 But that starting place was, if a California program
16 administrator believe that it has a way to capture a lot more
17 energy savings in a cost-effective way, but it can't do that
18 under the rules -- the current rules, then it can come to the
19 commission with a special proposal. In which it lays out a
20 special for example, a special cost-effectiveness schedule
21 may be the reason why it wouldn't work under the ordinary
22 rules is that it wouldn't be cost-effective at the beginning
23 because the market transformation program is often not cost-
24 effective near the beginning but it might be very cost-
25 effective near the end.

1 So, we looked at a life cycle, cost-effectiveness
2 instead of a year on year cost-effectiveness or it could
3 develop its own custom schedule and it would have to live up
4 to that schedule but not up to year to year cost-
5 effectiveness.

6 Initially there were a lot and there still are a lot
7 of protections for ratepayer funds so, there are offramps for
8 a proposal that looked like it might go somewhere but
9 ultimately is not -- has not met its own detailed metric and
10 timelines and so forth. So, and again, you can watch how
11 that initial thought evolved through the staff proposal and
12 the joint report from the parties.

13 I have a favorite example of sort of market
14 transformation initiatives and I just want to lay it out
15 there for you. A market transformation proposal can be
16 anything but say your hot water heater breaks, at home and
17 you call the plumber and the plumber comes and he says, don't
18 worry he has three or four hot water heaters in the truck.

19 And you say, great, but, you know, I really want one
20 that's highly efficient; and he says, well, actually none of
21 those are highly efficient; and you say, you know, I'm also
22 interested in maybe going all electric; and he says, well,
23 you know don't have in the truck; and you say, you know, I'm
24 even interested in one that's a grid connected hot water
25 heater that could be used for demand response and energy

1 storage; and he just kind of looks at you're crazy; but then
2 he says, no, don't worry I can get any of those for you but
3 it's going to be three weeks and you and your family are
4 going to take cold showers for three weeks.

5 And you think to yourself, you know, what do I do?
6 And a lot of people are probably just going to go with what's
7 in the truck there. So, this a strategic sort of -- of
8 intervention point that a market transformation program could
9 target. They could be working with the plumbers or the
10 electricians who might do electric water pump may be given
11 incentives to them or just education.

12 But again, a market transformation program can be
13 potentially anything and very broad, hence the ability for
14 unique proposals to come through that framework as Christie
15 and Dan are going to describe in a minute.

16 And I'll just say also, I want to make one distention
17 that this is energy efficiency market transformation as part
18 of our energy efficiency proceeding. We will also have a
19 building electrification proceeding as per SB 1477 the
20 legislation and that also will have a market transformation
21 program. But that program is not what we're talking about
22 today, right now we're talking about the energy efficiency
23 program. So, I'll let Christie describe the staff proposal.

24 MS. TOROK: Thank you, Hal. I'm going to talk a
25 little bit about the staff proposal which was published in

1 August of 2018. You know, working from our definition that
2 was adopted in 2009 we started and given SB 350's mandate to
3 authorize these -- this program framework to support the
4 doubling of energy efficiency goals.

5 We started discussions with stakeholders about what
6 really -- what would a market transformation program look
7 like, what are its key features, how does this definition
8 translate in to an operational on the ground program. And we
9 heard a lot of different things from different stakeholders
10 and different sort of different uses of the word -- all of
11 which were generally consistent with that definition but some
12 of them weren't different from what we already have in our
13 portfolios, what we already fund and/or weren't necessarily
14 applicable in every situation.

15 So, we wanted to find something -- pieces of this
16 that would draw out what was the new opportunity and what
17 could be operationalized in a manageable way that would
18 provide opportunities that we haven't had before.

19 And I'm really excited about it because I think it
20 allows for different strategies that we've honed in on
21 independently to be woven together in to a single longer-term
22 effort with some real measurable goals and that -- that's the
23 vision for it.

24 So, what does it look like? These key
25 characteristics that we pulled from -- in our goal of honing

1 in on something both flexible and different was that these
2 would be long-term initiative the things that are not
3 revolving, like maybe a retrofit program in doing a
4 continuous number of retrofits, maybe your measured changed
5 but that could be done in a short time scale or a long time
6 scale or -- and it's not an ongoing effort, like maybe a work
7 force in education in training where you're kind of
8 constantly doing -- dealing with one market barrier or one
9 activity. So, we want to pull together long -- over a long
10 period of time a market that would benefit from addressing
11 multiple barriers simultaneously.

12 So, if a market really has -- is mostly facing one
13 barrier like a first cost barrier or an information barrier,
14 we have programs in place that really are -- do that very
15 well. We have incentive programs, and we have emerging
16 technology programs, and we have information programs, and
17 workforce education programs. But when we have an
18 opportunity where it -- that would really benefit from
19 addressing multiple of those and maybe changing how we
20 address it over time that is what we are looking for.

21 And where there is leverage points where we can touch
22 small -- a relatively small number of transactions or market
23 actors and create a big kind of a leverage, big
24 [indiscernible] in the market. So, that's an attractive
25 characteristic that we would look for in an ideal opportunity

1 for market transformation.

2 So, the endings are things that are not cost-
3 effective initially mostly because we have avenues to pursue
4 cost-effective measures currently. So, these are things
5 generally things generally that aren't cost-effective right
6 now. So, but that we have a reasonable vetted case that over
7 a life cycle a program over the full program effort it will
8 become highly cost-effective.

9 And we say highly cost-effective because inherent any
10 longer term forecast it the somewhat higher risk level. So,
11 we want to set our thresholds for life cycle savings cost-
12 effectiveness to be fairly, you know, promising and high to
13 compensate for some of that risk.

14 Another key characteristic is for there to be clear
15 goals. And here the goals can be there -- they should be --
16 there should be a data supported case for what -- how the
17 goal translates directly in to energy efficiency savings.

18 But it does not necessarily restricted to counting
19 individual installations, and documenting them, and verifying
20 them the way that we do generally in our resources programs.

21 It is more -- we could perhaps set a goal on market shares,
22 or saturations, or practices of certain key services
23 providers and -- but the goals need to be measurable, you
24 know, smart goals, achievable, and have targets associated
25 with them, and a schedule so that we can track our progress

1 towards something that we've all agreed is worth pursuing.

2 And a lot of -- another big piece of this that's not
3 on the slide is actually that we set these goals up front and
4 these schedules up front and these like savings methodology
5 we agree on that ahead of time so that as we move through it,
6 we know what the savings are and we know where we're going
7 and we can adjust along the way. But setting that initial
8 goal putting our kind of line -- or our line in the sand or
9 our stake down and trying to move towards something is a big
10 piece of how the vision of how this is supposed to work.

11 And what this does I think together is give us an
12 opportunity to pursue savings that aren't currently possible
13 to pursue. Because these kinds of long-term plans with
14 multiple strategies that aren't, you know, once you introduce
15 workforce education and training, and marketing and
16 education, and outreach, and you have a resource component,
17 and you have different -- you can get lost in attribution.

18 And so, here we don't -- we don't have -- we can
19 stitch all those things together use the most effective way
20 possible to reach these stated goals and share collectively
21 in those energy savings.

22 And we also, we can start to pursue more mar -- we
23 can start to claim market size savings. I mean, we've seen a
24 lot of successful efforts in California over many years
25 that's still produce effects today. And some of which we

1 capture and much of which we don't because we're very
2 rigorous in how we verify our -- every kilowatt hour that
3 counts towards goals and that's a good thing.

4 But when we're shooting for something that's
5 achievable that takes a little bit longer than we can pursue
6 these types of market size savings.

7 So, then how does this actually work? So, how do
8 propose to operationalize this? So, I'm just going to walk
9 through the process it's sometimes referred to a stage-gate
10 process I think my stage numbering is a little off compared
11 to what Dan is going to talk -- so don't focus too much on
12 that.

13 But in the first stage there's, you know, first
14 there's just a bunch of ideas and somehow a market
15 transformation administrator, this is the administrator of
16 the program, will select from those ideas a short list of
17 things to pursue and they can -- they'll apply some election
18 criteria to that end.

19 And then once that's done then you -- they enter in
20 to this market transformation initiative development stage.
21 Where you're really taking what was a promising idea based on
22 all available information and filling in all of the details.
23 You're defining -- you're looking at that market to try to
24 size it, you define it, create -- model your baseline -- your
25 forecast baseline, propose -- think about off boarding

1 criteria for the initiative, what should the -- what should
2 that look like, study how the market actors in that market
3 interact, and come up with a program theory and logic model,
4 test some strategies.

5 And then you come up with -- at the end of all that
6 and in order to do that there's an advice filing that says,
7 we're going to develop these three ideas and this is how much
8 money we're going to spend on that. And so, the public knows
9 at that point what's being developed.

10 And then after that the -- when after the development
11 plan efforts have complete -- so one idea might drop off.
12 So, maybe you had three ideas move forward, maybe not all of
13 them look really good because when you got really in to the
14 data, and started to test things it just didn't look as
15 promising, and that's okay. So, there's no -- it's not
16 necessary to move forward with each one.

17 But the one's that result in a plan that is something
18 that the administrator wants to move forward with then it's
19 submitted as what we called in the staff proposal, an accord.

20 I think, in the stakeholder proposal it's called a
21 plan, but a little confusing because we got a plan and then a
22 plan but anyway. So, we'll just call it an accord for right
23 now.

24 But this accord is really the governing document for
25 this effort and it outlines what the, you know, what the

1 performance metrics are, where you expect to be at what time,
2 how are you reporting out on progress, you can setup an
3 initiative review committee to kind of provide some input or
4 help communicate with stakeholders and provide
5 recommendations at key points in the process.

6 You have you're forecast baseline and that's really
7 important because that determines savings as well as a way of
8 taking measurements in the market over time that produce both
9 progress and savings estimates.

10 And that's really the heart of the proposal. Let's
11 see, there's implement -- once it's -- and the accord is
12 submitted as an advice letter again, so it's open public
13 comment. And then it -- if or when it's approved it goes
14 into its implementation phase where it's starting to -- it's
15 using its funding to do the activities that were outlined in
16 the accord and report out and there should be a report out on
17 a regular schedule, there may be some strategy refinement,
18 there would be certain parts of the accord outline that would
19 be flexible and not trigger any red flags if it needed to
20 change and that maybe other parts that were more like no,
21 these are really important and if we don't make these then
22 there's definitely a problem or -- so there's different
23 aspects of it. And then this is the implementation and what
24 are some of the key issues that came up.

25 So, -- that we had two workshops on this and then we

1 had -- and then the joint stakeholders came together and met
2 for three months. And they put together a really impressive
3 consensus document which took a lot of the ideas in the staff
4 proposal and refined them, and added to them, modified some
5 so, it will be really good to hear from Dan in a minute.

6 But with the keys that kind of came out of those
7 discussions not all the recommendations were consensus. One
8 of the ones that is -- that was kind of an outstanding issue
9 is who's the best selection for program administrator? Is it
10 the existing program administrators that we have? Or, should
11 it be a third -- an independent third-party contracted by
12 IOUs? And if that's the case, you know, we -- there are
13 related questions about how long should an initial contract
14 be? And how should this third-party be held accountable?
15 How do we create the stability for market transformation and
16 having the benefits of an independent third-party
17 administrator?

18 And then, I think another main key issue to resolve
19 is, is our what if scenarios? So, when things don't go
20 exactly as planned? If our -- if the key milestones aren't
21 meet, you know, what is that -- what does that process look
22 like? And how modifiable is the accord once it's filed and
23 what's the process for proposing or approving changes?

24 And we, you know, we want to -- we expect that there
25 will be adjustment that need to be made along the way. And

1 how much latitude should be provided to the administrator to
2 make those in program adjustments in real time versus having
3 a -- another public vetting? Because some changes may over
4 step that boundary where it starts to become questionable
5 about whether you should move forward or not all.

6 And -- but -- so we want to find that balance and --
7 without creating an overly burdensome process -- nobody likes
8 that.

9 Another key issue is, what is the right cost-
10 effective threshold? Is it, you know, we -- in the staff
11 proposal we had proposed 1.5 TRC as a starting point and
12 there were different values being discussed in the joint
13 stakeholder groups and there was actually not consensus on
14 what this value should be so this remains an outstanding
15 issue.

16 And the last kind of it's partly a technical issue
17 and partly kind of a policy issue. Is how should we include
18 codes and standard saving in our market transformation
19 planning?

20 We could -- so there are a couple options on the
21 table, we could try to forecast cost -- codes and standards
22 savings as part of the accord -- in, you know, going in to
23 the accord you can forecast your savings and include a
24 forecasted codes and standards savings.

25 There is a question about whether there are any

1 logistical or logic problems and combining pre-codes and
2 standards and post -- and codes and standards savings. Since
3 they have sort of fundamentally different approach to the
4 allocation of savings.

5 And the other question, I think it's reasonable to
6 ask is it -- can we really forecast codes and standards
7 savings when we're planning a long-term effort that's
8 beginning before a measure's even cost-effective? That's a
9 long-time horizon.

10 So, the other option on the table is to forecast cost
11 and benefits using all the available data and then backing
12 out what you would need to get from codes and standards, and
13 assessing whether that value is reasonable to expect and --
14 instead forecasting what it would be just kind of, you know,
15 is it 90 -- is it an achievable number and, because in some
16 cases it would be an easily achievable number and in some
17 cases it might be a really difficult, really big -- really
18 high big lift. And if it's in between then, you know, it's a
19 judgement call but that might be just as good as for --
20 trying forecast exactly what it would be. So, I don't know,
21 that remains a question.

22 And if we did the later approach then the idea would
23 be that once the measure became adopted in to code we would -
24 - we could then do a retrospect evaluation similar to what we
25 do now to assess what the savings are and then credit it

1 appropriately to the market transformation program.

2 So, that was my piece and I'll hand it over to.

3 MR. BUSH: Okay. So, I'm Dan Bush, I'm Supervisor in
4 the Public Advocates Office for the customer's program teams.

5 We cover the whole demand side including energy efficiency.

6 I'm going to talk a little bit in my role as a member
7 of the market transformation working group, give a really
8 brief overview. My task here is to just to give you a sense
9 of what's in the report, encourage you to go look at it and
10 for those who are parties or wish to be to get involved in
11 the stakeholder party comments that are coming up, and to be
12 brief because it's the end of the day. So, without further
13 ado, I'll try and march forward.

14 So, and not surprisingly the market transformation
15 working group that was convened by the California Energy
16 Efficiency Coordinating Committee drew heavily on the staff
17 report that sort of the market transformation working group
18 came in to being after the two workshops that Christie was
19 describing and organizing.

20 And so, you know, we took the staff proposal as a
21 starting point for further elaboration and I think what
22 you'll see is pretty consistent with spirit if not the letter
23 in most respects.

24 It was a pretty intensive process with a bunch of all
25 day in person meetings, subcommittee meetings over time for

1 drafting et cetera. And the group worked really hard to
2 achieve consensus on as many issues as possible and with the
3 exception of two issues which Christie already mentioned --
4 the -- it is a consensus document.

5 So, the -- I want to highlight -- the document lays
6 out what I think are pretty helpful some principles for
7 market transformation initiatives. These are the three that
8 the parties agreed were the sort of must haves in all
9 situations. It -- a market transformation initiative needs
10 to drive incremental savings, achieving EE equity in GHG
11 reduction goals, it has to be cost-effective under whatever
12 the framework is for cost-effectiveness and it needs to use a
13 stage-gate process for developing and deployment of the
14 initiatives and I'll show you a diagram in a second, it's a
15 little busy but it will give you a sense of what we're
16 talking about.

17 I'm not going to read all these but these are some
18 other principles that if applicable the MTI's should -- and I
19 want to highlight a couple which is coordination with rolling
20 portfolio programs that was one that was significant concern
21 in the staff report and remains one for a number of parties,
22 and obviously to support innovation.

23 And, you know, from our perspective -- now putting my
24 Public Advocates Office hat on just for a second, metrics to
25 measure progress are key. They're because you're not using a

1 traditional savings measurement framework, you're making some
2 modifications, the metrics to assess progress are really
3 important. If you don't have good metrics up front for how
4 you're going to figure out whether you're actually impacting
5 the market, you're likely some years down the road to find
6 yourself asking the question, well, what did we achieve? Did
7 we achieve what we set out to do?

8 So, a handful of areas of consensus, this is the
9 bulk of report the first one that I sort of highlighted
10 already is the stage-gate process with some defined
11 regulatory check-ins and here's the picture, I know you can't
12 read the text. But the key -- and these actually line up
13 well with what Christie described the different terminology I
14 think Christie has a preferred terminology the working group
15 developed its own preferred terminology I assume that the
16 decision makers will come up with some combination and some
17 new terms for a third terminology and that's what we'll all
18 end up using.

19 But basically, you have three phases concept
20 development phase, that's the idea phase that Christie was
21 describing, the best ideas go in to a -- an advice letter
22 before the commission for review and approval -- potential
23 approval and funding. Second you have a program development
24 phase, that's the sort of building out the potential
25 initiative, another advice letter to the commission for the

1 commission to ratify, bless, and fund a full-scale market
2 deployment of an initiative.

3 And then finally, you've transitioned or sunsetting
4 either when you've achieved your goals, or you've realized
5 that this thing not working, or needs a fundamental rebuild,
6 and maybe needs to go back in to the earlier steps.

7 And often but not always codes and standards will be
8 part of that transition, you move something in to code and
9 you're starting to realize the savings from something that
10 might not have been possible at the beginning.

11 Okay. So, institutional stuff the working group
12 proposes the creation of a market transformation advisory
13 board. Which would be various, you know, some stakeholders
14 with a particular expertise and knowledge about market
15 transformation and as necessary some independent review
16 committees' theses are sort of more specialized experts to
17 help advise the program administrator. Parties also agreed
18 on a budge approval process, including a not to exceed
19 multiyear budget, annual budget advice letters for continuing
20 funding, and stage-gate funding approval in those advice
21 letters, these are all the consensus recommendations.

22 A few more parties also agreed to adjustments to the
23 commissions current cost-effectiveness framework for energy
24 efficiency, these -- mostly within the EE context so around
25 codes and standards counting, time frame for counting savings

1 and how to do attribution or net to gross, as well as a
2 process for identifying, mitigating, and resolving disputes
3 about the overlap between market transformation initiatives
4 and the existing the resource acquisition portfolio in -- of
5 the utility programs.

6 So, Christie already went over the areas of non-
7 consensus so I won't belabor them, they're basically, who
8 should administer the programs and what's the minimum cost-
9 effectiveness threshold? If you'd like at some, you know,
10 during question and answer I'd be happy to elaborate on the
11 Public Advocates Office's position on those things but I'm
12 trying to be, and I'd be happy to try to fairly represent
13 other parties or they can come forward if they're in the room
14 or on the phone about what they thought about those issues.

15 And then the next steps, Christie already laid it out
16 the market transformation working group report was submitted
17 via motion in the energy efficiency rule making, there was a
18 request for a ruling to enter the report in to the record and
19 then do some additional record development. There are a
20 handful of issues that I think are probably germane that
21 aren't addressed in the report.

22 So, 1) is how much funding? That's not actually in
23 the report, it's in the staff proposal but not in the working
24 group report so that's certainly one that the commission
25 would want to develop a record on. There are probably a

1 handful of others that we or other parties will want to raise
2 about some additional pieces, how things fit together, you
3 know, overlap with other initiatives et cetera. And then we
4 anticipate and, I think, that everyone does that proposed
5 decision would follow that additional record development.

6 And that's all I've got, and be happy to answer
7 questions, that was sort of what I had planned on. Thank
8 you.

9 MS. BIRD: Great. Thank you very much. So, do we
10 have any questions from commissioners? Okay. Any questions
11 from the audience, come on up to the microphone.

12 MS. PAOLO: This is great. Thank you so much. I did
13 have two questions. One of them is related to the Phase 1
14 gate, I guess, and selection of ideas. What is the process
15 that is being proposed for identifying the ideas that will be
16 put in to the advice letter and then go out for public
17 comments? So, that's one of my questions.

18 And then the other question is related to the
19 innovation panel that we had earlier assuming that market
20 transformation and promotes innovation which I'm not that's
21 the case and sort of how you guys are thinking about it.

22 But one of the things they brought up is that one of
23 the challenges for innovation was the requirement -- well,
24 for in cost-effectiveness requirement as well as this
25 incremental energy efficiency savings requirement. And one

1 of the these and I'm sorry I don't remember who said this I'd
2 have to look through my notes. But one of the things they
3 suggested instead was having a different metric like
4 greenhouse gas reductions and I noticed in this slide here, I
5 don't remember if it said, energy incremental energy
6 efficiency and greenhouse gas reductions or if it was either
7 or. That was -- just two questions -- clarifying questions.

8 MS. TOROK: Want to take the first one?

9 MR. BUSH: Sure. So, I think there are a couple of
10 different processes for trying to get the ideas in that First
11 Phase. One that a number of parties advanced and that -- and
12 again, these were consensus recommendations. So, one avenue
13 is through a kind of a solicitation so putting out an open
14 call for ideas and inviting -- particularly for turnkey
15 market transformation initiatives, or things that have
16 already been tried other places, or are well developed and
17 bringing in third-parties who may have specific initiatives
18 that they want to advance. And running it something like a
19 solicitation so a competitive process.

20 And the second is more active development by the
21 market transformation administrator. So, scanning the
22 market, looking for areas of potential promise, technologies
23 that maybe are available in other place but aren't in
24 California yet that may have some promise, and then starting
25 to take those -- the most promising ideas from that scanning

CALIFORNIA REPORTING, LLC

229 Napa Street, Rodeo, California 94572 (510) 224-4476

1 and beginning to develop a plan so.

2 (Unidentified speaker not on mic)

3 MR. BUSH: No. Actually, the proposal from the
4 market transformation working group is that there would be
5 both. So, for certain -- a certain kinds of things so you
6 would do -- run a solicitation from more turnkey approaches
7 as well as the administrator would actively be scanning and
8 starting to develop and do some of the work to develop
9 initiatives in-house. And there -- so -- that consensus that
10 both avenues were necessary came out of the working group
11 discussion.

12 MR. KANE: So, there was consensus for the working
13 group but it's still open for discussion in the proceeding so
14 as parties file comment they could do that. Just quickly you
15 question about energy savings versus GHG savings, this is
16 part of the energy efficiency proceeding again, so this more
17 likely to go to the energy savings.

18 But there will be the building electrification market
19 transformation work and I think it's interesting to know
20 we'll have to think a lot about whether maybe that one goes
21 to GHG savings.

22 MS. BIRD: Okay. Any more questions? Any question
23 on the phone?

24 MR. KANE: Anne.

25 DR. NEIDERBERGER: Based on what you just said, this

1 is Anne Neiderberger by the way from Enervee. So, what if
2 you did want to do market transformation across DER types?
3 Is that not going to something that's possible? Or.

4 MR. BUSH: Yeah. That's a good question, it's a hard
5 question. I mean, again, this is with the energy efficiency
6 proceedings. So, we have not really explored that as much as
7 maybe we should. The goal here would be energy savings; I
8 don't know what do you guys think?

9 MS. TOROK: I think where market transformation
10 approach might be better suited to encompass other demand
11 side resources. Is that you can create a prototype of the
12 effect and it -- in an intended outcome vision for where
13 you're going and why it's going to save energy and it has
14 these other benefits.

15 And we don't -- you can get away from, I mean, the
16 reason that we don't do a lot of energy efficiency where we
17 have distributed generations, you know, it's a ratepayer
18 thing but it's also a measurement thing. It's difficult to
19 verify. But if you have a different approach if you want to
20 get every solar customer to have a super-efficient home and
21 not and not -- and you have a plan to do that or you have a
22 plan to do that or you have a plan market them with the solar
23 and then do the energy efficiency together in some really
24 attractive bundle. And you can make a case for that then we
25 can think about that but it's true that these are intended to

1 further our SB 350 goals of doubling energy efficiency
2 savings. So that is and this is fundamentally in support of
3 that goal.

4 MR. KANE: One thing that -- all of them are? Or
5 that.

6 DR. NEIDERBERGER: Yeah. So I -- I mean, we are just
7 very practically we are trying to help customers make those
8 integrated decisions, that's kind of how we're set up, we're
9 set up to do that. And when a customer's thinking about an
10 PV they're also thinking about solar and about heat pumps for
11 their heating and cooling. That's exactly where we're trying
12 to go.

13 But if we can only value one piece of it then it's
14 just hard to implement, you know. And again, it gets back to
15 what does the consumer need and what is the frame we're going
16 to value?

17 MR. BUSH: So that sounds more like when you talked
18 about three different electrification potential issues. So
19 it sounds more like over the longer term that that might be
20 a -- in scope for building decarbonization.

21 I think the issue here is that the statutory
22 mandates -- is my read is that the statutory mandates are
23 such that using energy efficiency dollars for some of the
24 like electric vehicles are not really in the compliant with
25 statute as I --at least as I read it. There are certainly

1 other funds and the leveraging is something that is difficult
2 in this building and that, you know, that was ample
3 discussion about silos. I think that over the long run
4 probably building decarbonization efforts that are agnostic
5 to where the contribution comes from and have a different
6 metric than energy savings which is really an efficiency
7 metric not a solar or a EV metric that might be more
8 fruitful.

9 I -- this framework might be a stepping stone there
10 but at this time it doesn't, I mean, it's still efficiency.
11 The metrics are still, you know, in statute and commission
12 decisions around savings and all cost-effective energy
13 efficiency.

14 MR. KANE: As we --

15 COMMISSIONER RANDOLPH: Yeah. I'll just kind of
16 close out by saying that, you know, we tend to do things sort
17 of one proceeding at a time here. And, I think that there
18 are some opportunities that, you know, as you mentioned like
19 if we can create a framework here and then, you know, kind of
20 replicate in building decarb and then start to look at other
21 proceedings where we can sort of deploy the framework and
22 tweak it as needed. I think that's a good opportunity.

23 MS. BIRD: That sounds like a good place to end right
24 now. Maybe we can -- some folks can continue the
25 conversation after or we docket some of this feedback. Thank

1 you.

2 Michael's going to close out for us.

3 Thank you all for your presentations. Thank you.

4 Thanks.

5 (Applause)

6 MR. KENNEY: So thank you all for sticking around.

7 We wanted to leave a few minutes here at the end to do just
8 some last closing comments and I'd like to open that first up
9 to the commissioners if they have any last closing comments
10 for the workshop today?

11 COMMISSIONER McALLISTER: Yeah. I just want to thank
12 everybody -- all the presenters and all of you for sticking
13 it out, you know, there's a -- the brave -- few of the brave,
14 few of the proud, the brave. But, you know, this is a huge
15 lift for the state and, you know, I think there's a -- if you
16 count the people in this room an you divide -- or you what
17 would you do, you'd take the population of California and
18 divide by the number of people in this room, there's a big
19 responsibility on every single one of your shoulders to get
20 this right down the, you know, for the long run.

21 And so, I'm heartened at the conversation. I really
22 want to thank the PUC again for hosting today. And we have
23 four more all over the state and I think we're going to get a
24 real diverse set of audiences and we're trying to, you know,
25 mix up the agendas a little bit to talk about different

1 topics as appropriate in each place.

2 But the docket is really where we need to see
3 everything anybody can come up with to submit in to this
4 process. So you know, being present at a meeting is great
5 and that creates part of the docket too. But really the -- I
6 would encourage everyone to also write down what they're
7 thinking and present it in the most [indiscernible] way they
8 can so we can figure out how to put it all together in to a
9 report that has an impact.

10 And the process is just getting underway. It's going
11 to take, you know, six months or so to get it to the finish
12 line and hopefully a lot of you can participate along the
13 way.

14 So thanks a lot. Anything from my colleague? No.
15 Back to you Michael. Thank you. Thanks to staff actually.
16 Thanks Michael and all your -- and Heather and just all the
17 staff for putting this together. My advisors Martha and
18 Brian, the efficiency staff has been great all along the way.
19 So more to come. Thanks a lot guys.

20 MR. KENNEY: Thank you. So if there's any final
21 comments from the audience if you can be brief, you're
22 welcome to come up to the microphone for a final comment
23 otherwise, we will -- it looks like we have one. Okay.

24 MR. VU: Nakin Vu from California Efficiency Demand
25 Management Council. I just wanted to thank the Commissioners

1 for taking off this process. I know it's an in-depth process
2 and staff as you guys travel around. California Energy
3 Efficiency Demand Management represents over 80 members and
4 working throughout the demand management industry in
5 California, we look forward to continuing the support in
6 development of the action plan as you guys move forward.

7 Thank you.

8 MS. BIRD: Thank you.

9 COMMISSIONER MCALLISTER: Hey, Michael. Could you
10 remind us the next, you know, the four upcoming and places
11 and dates?

12 MR. KENNEY: Sure. So after today we will be heading
13 on Monday, April 15th up to Redding, we'll be at the Redding
14 Electric Utility for our next workshop; following that April
15 25th we'll be in Fresno at the San Joaquin Valley Air
16 Pollution Control District, and then on April 30th in Los
17 Angeles, we'll be hosted by the L.A. County and SoCalREN but
18 we'll be actually at the downtown Courtyard Marriott for the
19 workshop; and then on May 1st we'll be in San Diego and the
20 City of San Diego is hosting us at their Public Utilities
21 Department.

22 So we have a lot more miles to cover on this journey.
23 So if you're able to call in and listen we would appreciate
24 that. If you'd like to come in person, that's even better.
25 The topics some may be similar but the voices will be very

1 different. So we hope that you stay tuned in and follow the
2 process as we continue. And I'll just close by saying our
3 docket is open and will be open until May 15th at 5:00 pm.

4 So please drop in your comments these will help
5 inform the whole action plan process with our hopes of
6 getting a draft out for all of you to see in the summer. So
7 thank you again for attending we hope you got a lot out of
8 this. I know we sure did. And a big thank you to the
9 commissioners for sticking around and providing a lot of
10 input, and to the panelist who, as well, helped us get a lot
11 of information. So thank you.

12 (Applause)

15 --o0o--

16

17

18

19

20

21

22

23

24

25


CALIFORNIA REPORTING, LLC
229 Napa Street, Rodeo, California 94572 (510) 224-4476

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 19th day of June, 2019.



Susan Palmer
Certified
Reporter
CERT 00124

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 19th day of June, 2019.



Myra Severtson
Certified Transcriber
AAERT No. CET**D-852