

DOCKETED	
Docket Number:	19-IEPR-09
Project Title:	Southern California Energy Reliability
TN #:	228898
Document Title:	Transcript of 05-23-2019 Workshop
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	7/3/2019 8:15:07 AM
Docketed Date:	7/3/2019

CALIFORNIA ENERGY COMMISSION

JOINT AGENCY WORKSHOP

In the Matter of:) Docket No. 19-IEPR-09
)
)
2019 Integrated Energy Policy) Southern California
Report) Energy Reliability
_____)

CALIFORNIA ENERGY COMMISSION (CEC)

CALIFORNIA ENERGY COMMISSION

SOUTH COAST AIR QUALITY MANAGEMENT DISTRICT, AUDITORIUM

21865 COPLEY DRIVE

DIAMOND BAR, CALIFORNIA 91765

THURSDAY, MAY 23, 2019

10:00 A.M.

Reported by: Troy A. Ray

CALIFORNIA REPORTING, LLC

229 Napa Street, Rodeo, California 94572 (510) 224-4476

APPEARANCES

COMMISSIONERS AND EXECUTIVES PRESENT:

Chair David Hochschild, California Energy Commission
 Vice Chair Janea S. Scott, California Energy Commission
 Commissioner J. Andrew McAllister, California Energy
 Commission (via WebEx)
 Commissioner Liane M. Randolph, California Public Utilities
 Commission
 Commissioner Clifford Rechtschaffen, California Public
 Utilities Commission
 Commissioner Martha Guzman Aceves, California Public
 Utilities Commission
 Mark Rothleder, California Independent System Operator
 Reiko Kerr, Los Angeles Department of Water and Power
 Laki Tisopulos, South Coast Air Quality Management District

CEC STAFF PRESENT:

Heather Raitt, California Energy Commission
 Lana Wong, California Energy Commission

PANEL

Neil Millar, California Independent System Operator
 Simon Baker, California Public Utilities Commission
 Rabindra Kiran, Southern California Edison
 David Thai, San Diego Gas & Electric
 Jason Rondou, Los Angeles Department of Water and Power
 Brad Bouillon, California Independent System Operator
 Glenn Barry, Los Angeles Department of Water and Power
 Matthewson Epuna, California Public Utilities Commission
 Rod Walker, Walker & Associates
 David Bisi, Southern California Gas Company
 Jennifer Walker, Southern California Gas Company
 Dan Rendler, Southern California Gas Company
 Jimmie Cho, Southern California Gas Company
 Neil Navin, Southern California Gas Company

PUBLIC COMMENT

Issam Najm, Porter Ranch Neighborhood Council
 Sarah Reese, South Coast Air Quality Management District

INDEX

	Page
1. Call to Order	4
2. Joint Agency Update on Reliability Issues Including Phase Out of Once-Through Cooling (Lana Wong, Neil Millar, Simon Baker)	10
3. Utility Update on Reliability Issues Associated with Phase Out of Once-Through Cooling (Rabindra Kiran, Gene Lee, David Thai, Jason Rondou)	36
4. Update on Reliability and Other Issues Associated with SoCal Gas Infrastructure Challenges (Simon Baker, Lana Wong, Brad Bouillon, Glen Barry)	79
5. Other Safety and System Operations Perspectives (Matthewson Epuna, Rod Walker)	114
6. Update from Southern California Gas Company on Summer 2019 Technical Assessment, Demand Response, and New Gas Hookups (David Bisi, Jennifer Walker, Dan Rendler, Jimmie Cho, Neil Navin)	144
7. Public Comment	181
8. Adjournment	187
Reporter's Certificate	188
Transcriber's Certificate	189

1 P R O C E E D I N G S

2 MAY 23, 2019 10:00 A.M.

3 VICE CHAIR SCOTT: All right. Well, good morning
4 everyone and welcome. We're going to start with some
5 logistics and updates by Heather Raitt.

6 MS. RAITT: Good morning. I'm Heather Raitt, the
7 Assistant Executive Director of Policy Development and the
8 Program Manager for the IEPR, the Integrated Energy Policy
9 Report. And so this proceeding today is part of that -- this
10 workshop is part of that proceeding.

11 So I'll go over the housekeeping items. So restrooms
12 are located down the hallway across the auditorium entrance.
13 We'd like to request no food in the auditorium please but
14 capped water is fine. And just a reminder to please place
15 your cell phones on silent or vibrate. If there is an
16 emergency and an evacuation is called, please exit the
17 building through the doors at the back of the auditorium.
18 And if there is a shelter in place if necessary, please drop
19 and cover your head and hold your chairs such as for an
20 earthquake.

21 Today's workshop is being broadcast through our WebEx
22 conferencing system so everyone should be aware that it is
23 being recorded. We'll have an audio recording posted on the
24 Energy Commission's website and we will also have a written
25 transcript and all of that will probably take a few weeks.

1 We do have a very few -- a very full agenda so I'd
2 like to remind our speakers to please stay within your
3 allotted times.

4 At the end of the workshop we will have an
5 opportunity for public comments. For those in the room that
6 would like to make comments, please fill out a blue card and
7 you can get it to our public advisor. And we'll take the
8 comments, like I said, at the end of the day.

9 We'll also have an opportunity for WebEx participants
10 to comment, and you can use the raise your hand feature to
11 let our WebEx coordinator know that you would like to
12 comment.

13 Copies of the presentations and reports are all
14 available on the Energy Commission's website. And written
15 comments are welcome and can be provided after the workshop.
16 And the notice provides all the information for how to do
17 that and they're due on June 6th.

18 So with that, I'll turn it back to the Commissioners
19 and Executives. Thank you.

20 VICE CHAIR SCOTT: Great. Thank you so much,
21 Heather.

22 Well, good morning and welcome everyone. I'm Vice
23 Chair Janea Scott, of the California Energy Commission. And
24 I'm also the lead this year on our 2019 Integrated Energy
25 Policy Report, or the IEPR. Today's joint agency workshop

1 will be included in this year's IEPR.

2 So I'd like to start off with a few comments and then
3 give my colleagues a chance to introduce themselves.

4 Today's workshop will be the fifth workshop the joint
5 agencies have conducted since April of 2016, to address
6 energy reliability risks facing the Southern California
7 region. This assessment looks at the short-term issues
8 facing the region over the coming summer months. And in
9 recent years, expected and unexpected events have greatly
10 impacted and threatened Southern California's electric
11 reliability. These events include the well leak at Aliso
12 Canyon, the early retirement of the San Onofre Power --
13 Nuclear Power Station, the planned retirement of once-through
14 cooling power plants along our Coastline, and most recently
15 the longer than expected pipeline outages on SoCal Gas's
16 system.

17 We have a full agenda today with presentations and
18 discussions about the risk assessment for this summer, which
19 I will add those risks are lower today than they were in 2016
20 primarily due to electric transmission upgrades. However,
21 our greatest risk now stems from pipeline outages that
22 continue on Southern California's Gas's System. We're going
23 to hear about the status of those outages, why they are still
24 ongoing, and the concern that there may be more.

25 A few utilities will provide updates on how they are

1 managing their resources and agency staff will discuss
2 possible measures that may mitigate the risk of broader
3 service outages while these pipelines are down. We will also
4 hear from an independent expert who will share insight from
5 outside California as well as other stakeholder
6 representatives.

7 I look forward to good discussions throughout the day
8 and want to thank everyone for their participation. I
9 especially want to say thank you to our colleagues from the
10 CPUC, the California Independent System Operator, Los Angeles
11 Department of Water and Power, and the South Coast Air
12 Quality Management District for being here and for South
13 Coast for hosting us today.

14 So now we'll hear some opening remarks from
15 Commissioner Liane Randolph and then we'll turn to the
16 introductions of the other folks on the dais.

17 Commissioner Randolph.

18 COMMISSIONER RANDOLPH: Thank you to Vice Chair Scott
19 for convening this group and inviting us here, and I look
20 forward to the discussion today. And thank you to our host
21 AQMD for hosting us here, we appreciate it.

22 As Commissioner Scott mentioned, the pipeline outages
23 continue to be a critical concern that is affecting electric
24 reliability and the continued restrictions on Aliso Canyon
25 also coupled with those pipeline outages create challenges

1 that even FERC's office of Electric Reliability and
2 Enforcement have highlighted as concerns on the Western
3 Interconnection. So I think this is a really important
4 discussion to have.

5 We at the PUC continue to closely monitor the outages
6 and how the company is handling the outages. I asked my
7 chief of staff recently to go out into the field and visit
8 the repair sites at Line 235. And so she had an opportunity
9 to go out and see the conditions out there, and we are
10 engaging on a weekly basis with the Safety and Enforcement
11 Division as they are monitoring those repairs, and the status
12 of those repairs, and what other potential repairs may need
13 to occur that could limit the ability to bring 235 back into
14 service.

15 As I'm sure many are also aware, the CPUC and DOGGR
16 announced the independent root cause analysis prepared by
17 Blade Energy Partners was released. That is not going to be
18 a topic of discussion at today's meeting, there will be a
19 future meeting set up to have more of a complete discussion
20 about the root cause analysis. But I did want to make sure
21 that folks were aware that that analysis is available on our
22 website if you want to take a look at it and review it.

23 So I appreciate everyone participating today and I
24 look forward to the robust discussion. Thank you.

25 VICE CHAIR SCOTT: Great. Thank you very much.

1 Let's do introduction of the folks on the dais and maybe I'll
2 start over here to my right, with Mark.

3 MR. ROTHLEDER: Thank you. I'm Mark Rothleder, vice
4 president of Market Quality and California Regulatory Affairs
5 of the California ISO. Thank you.

6 MS. KERR: Good morning. I'm Reiko Kerr, the senior
7 assistant general manager for the Power System at Los Angeles
8 Department of Water and Power.

9 CHAIR HOCHSCHILD: Good morning. David Hochschild,
10 Chair of the California Energy Commission.

11 MS. ACEVES: Morning. Martha Guzman Aceves one of
12 the commissioners at the California Public Utilities
13 Commission.

14 MR. TISOPULOS: Good morning. Laki Tisopulos, deputy
15 executive officer with South Coast Air Quality Management
16 District. I want to take this opportunity to welcome you all
17 and thank you for holding this workshop on this very
18 important topic here in the Southland and wish all of us, the
19 audience, a very productive workshop.

20 VICE CHAIR SCOTT: Thank you for hosting us. Let me
21 turn to Commissioner McAllister.

22 COMMISSIONER MCALLISTER: Oh hey, this is Andrew
23 McAllister, Commissioner at the California Energy Commission.
24 I'm remote from Sacramento. Good to be with you all.

25 VICE CHAIR SCOTT: Glad to have you.

1 I will just make note for the public that Heather
2 said this just a few minutes ago, but if you would like to
3 make a comment, please fill out a blue card, you can find
4 those on the table that were there in the entrance on your
5 way in. If you'll hand those kindly to our public advisor or
6 to Heather and they'll get those to us and that's how we'll
7 know that you'd like to make a public comment.

8 With that, let us turn to our first panel of the
9 morning. And we will begin with Lana Wong.

10 MS. WONG: Good morning. I'm Lana Wong, senior staff
11 with the Energy Commission.

12 This first panel is going to touch on a number of
13 issues associated with reliability in Southern California as
14 a consequence of the unexpected retirement of the San Onofre
15 Nuclear Generating Station, also known as SONGS, that
16 occurred back in 2013. And also our planned retirements of
17 once-through cooling plants. A plan was put in place to deal
18 with the unexpected retirement and the phase out of the OTC
19 and we're here to report on the progress.

20 I'll start with a brief overview of once-through
21 cooling that really is a success story of how the OTC policy
22 is achieving our environmental goals. Once-through cooling
23 is a process whereby coastal power plants intake ocean water
24 and they use that to cool the turbines. And it's a process
25 that's been going on for a long time as some of these plants

1 are very old, were built in the '50s.

2 But once-through cooling or OTC does cause
3 significant harm to marine life. As a result, in 2010 the
4 State Water Resource Control Board adopted a policy to phase
5 out once-through cooling at all the coastal plants in
6 California. And in doing so, they created an advisory body
7 called the Statewide Advisory Committee on Cooling Water
8 Intake Structures, also known as SACCWIS.

9 So if you look up on the screen, you'll see all of
10 the agencies that make up SACCWIS and provide advice to the
11 State Water Board. SACCWIS's task with ensuring grid
12 reliability during the phase out of OTC. And so several of
13 the plants are located in the Southern California area.

14 SACCWIS does a report every year about this time to
15 the State Water Board and I'm going to give you an overview
16 of the presentation made to them this past Tuesday. So I'm a
17 member of the interagency working group, it's a technical
18 team that supports staff and that prepares the report for
19 SACCWIS.

20 So this is essentially the highlight of the SACCWIS
21 report. No recommendations for changes to OTC compliance
22 dates. However, we tee up the potential need for the
23 compliance date extension due to a transmission upgrade delay
24 that's currently being studied by the ISO. You'll probably
25 hear a little bit more about that later today. But at this

1 time, no date change is recommended.

2 So this slide gives you an overview of the current
3 status, and the policy impacted 19 power plants along the
4 coast and that's about 20,500 megawatts and about half the
5 megawatts are in compliance. So ten plants fully in
6 compliance and four that are in partial compliance.

7 We've got another 6300 megawatts that are expected to
8 comply by the end of 2020, next year, and about 3800
9 megawatts of that's located in the L.A. Basin. And so after
10 2020, that'll essentially bring the total compliance to 80
11 percent by 2020. And the remaining OTC have compliance dates
12 out through 2029.

13 So this is a map of the locations of the OTC plants
14 and you can see that they're located up and down the state
15 but the inset diagram shows the ones that are in the L.A.
16 Basin and San Diego area. And those regions were the area
17 that were impacted by the unexpected retirement of SONGS.

18 So this slide shows all of the plants that have
19 achieved compliance so that's about half the megawatts as I
20 mentioned earlier. If you look at the last row, the Encina
21 Power Plant, so the Encina Power Plant was given a one-year
22 extension of its OTC compliance date to allow the Carlsbad
23 facility to come online. That plant came online at the end
24 of last year and that allowed Encina to retire in December of
25 last year.

1 This slide shows the remaining megawatts that still
2 are in the process of achieving compliance. You'll notice a
3 number of them have a 2020 compliance date, to draw your
4 attention to the ones in the L.A. Basin region; that's
5 Alamitos, Huntington Beach, and Redondo Beach, they all have
6 2020 compliance dates. And if you notice, there's a few
7 units at each of them, Alamitos 1, 2, 6, Huntington Beach 1,
8 and Redondo Beach 7 that all plan to retire early this year
9 to provide emission offsets for the new Alamitos and
10 Huntington Beach repowering projects that are currently under
11 construction.

12 So this slide shows the water usage at the facilities
13 and shows the progress that we've made to date on achieving
14 our environmental goals. So the upper blue line is based on
15 the design flow of the OTC fleet and the Water Board's
16 Compliance Schedule. And the green line below it shows
17 design flow and basically early retirements or accelerated
18 retirements. And then the red line is the actual water flow
19 through the power plants based on EPA data. And you can see
20 that the red line is much lower primarily due to the fact
21 that many of these plants run at a much lower capacity factor
22 than its original design.

23 So I had mentioned that a plan was put in place. It
24 was a multipronged plan comprised of preferred resources,
25 transmission solutions, and conventional generation. And

1 later in the panel you'll hear about preferred resources and
2 transmission solutions, and I'm briefly going to touch on the
3 conventional generation.

4 So the first plant, Alamitos. This plant is under
5 construction and it is 85 percent complete and on track to be
6 online in spring 2020. It is a 640-megawatt repowering
7 project. And so one note about this project is that the
8 transmission upgrade that's been delayed that I mentioned is
9 currently being studied, depending on the outcome of that
10 study, it may require an extension of an OTC facility and
11 Alamitos is one that is being reviewed to determine whether a
12 OTC compliance date extension would be needed.

13 Huntington Beach. This is also a repowering project,
14 it's about 644 megawatts. This one is also under
15 construction and about 88 percent complete. It's also on
16 track to be online in the spring of 2020.

17 Redondo Beach. The key takeaway on this slide is
18 that AES has sold two parcels at the Redondo Beach site, the
19 remaining property is in escrow and is expected to close in
20 2019. Currently there is an application for certification
21 that's been suspended at the Energy Commission but if the
22 sale of the property closes, that will be terminated at the
23 Energy Commission.

24 This last project, Stanton Energy Reliability Center,
25 this is not an OTC plant but I included it because it was one

1 of the projects selected out of Edison's 2013 Request For
2 Offer. It has a contract and its application for
3 certification was approved by the Energy Commission last
4 November, and it is currently under construction and about 5
5 percent complete. It's scheduled to be online next year.

6 The transmission project that I mentioned has been
7 delayed, is the Mesa Loop-In Project. The study is underway
8 and is expected in June, Neil will probably talk more about
9 it so I'll leave that one for him.

10 So in conclusion, no recommendations are made at this
11 time to compliance dates. ISO, Energy Commission, PUC will
12 continue to monitor the situation to ensure reliability. And
13 SACCWIS will reconvene if necessary, depending on the outcome
14 of the study underway. Thank you.

15 VICE CHAIR SCOTT: Well, actually, Neil, right before
16 you get started, I want to welcome Commissioner Cliff
17 Rechtschaffen from the PUC to the dais. Welcome, good
18 morning.

19 And I believe we also have Commissioner Karen Douglas
20 on the line as well. So good morning, Karen, and welcome.

21 Okay. Thanks, Neil.

22 MR. MILLAR: Okay. Good morning and thank you.

23 Yes, I'm Neil -- excuse me, Neil Millar, executive
24 director of Infrastructure Development at the ISO. And today
25 I'd be focusing on giving you an update on the local issues

1 affecting the L.A. Basin and San Diego requirements, really
2 tagging on to Lana's Presentation.

3 As an overview, I should just mention upfront that
4 we're a year further down the line from last year. The good
5 news is that there have been no unexpected surprises. So
6 we're on track with what we predicted last year which also
7 means the continued concern around the possible need to
8 extend the Alamitos Plant. So setting that aside, which was
9 also identified previously, there really are no surprises
10 other than that we've just moved forward down another year.

11 As was discussed earlier, just to clarify that, yes,
12 the plans that were in place to address the once-through
13 cooling retirement had to be accelerated and expanded to
14 accommodate the unexpected retirement of San Onofre. Without
15 those changes we were looking at potential voltage collapse
16 in the area as well as thermal transmission line overloading.
17 So there was a delicate balance of needing to address both of
18 those issues.

19 Overall, when we look back at the progress that was
20 achieved, we do consider this a very positive story. Less
21 than half of the overall gas fired generation and the ISO
22 portion in the L.A. Basin, San Diego area is being replaced
23 and that's despite the unexpected loss of San Onofre. So
24 that was accommodated through, as Lana mentioned, a
25 combination of various solutions including preferred

1 resources, some conventional replacement, and a number of
2 transmission upgrades.

3 Now, the -- from the perspective of the different
4 types of projects, resource procurement including preferred
5 resources both in the L.A. Basin and San Diego played a major
6 role. We also relied very heavily on dynamic reactive
7 support devices, synchronous condenser projects going through
8 in a number of areas, and that was also where we turned to
9 Huntington Beach to provide some interim service with Units 3
10 and 4 operating as synchronous condensers. We were very
11 happy to be able to allow those units to retire as the new
12 generator -- as the synchronous condensers came online.

13 The other key transmission projects -- there were a
14 number of smaller upgrades, but a number of key transmission
15 projects that were instrumental in allowing us to move
16 forward including the Imperial Valley Phase Shifting
17 Transformer that helped manage flows into the San Diego area.
18 Sycamore-Penasquitos Transmission line, the Mesa Loop-In
19 Project will also play a major role, and we have other
20 upgrades that we're looking at that weren't targeting 2021
21 but will provide additional relief in the future.

22 Now, the primary concern at this point does remain
23 the low-voltage concern feeding into the northern end of the
24 L.A. Basin where we are requiring the additional support from
25 the Mesa Loop-In Project which is really the tapping of the

1 Mesa Mira Loma line into a new -- to create a new source into
2 the 230 kV system. And I believe the representative from
3 Southern California Edison will be talking more about that.

4 Overall, the mitigations have been largely moving
5 forward as planned and where there were delays, we were able
6 to accommodate those. The Carlsbad Energy Center in service
7 had been delayed, and the Encina OTC extension helped us
8 match that. The Sycamore-Penasquitos project had taken a bit
9 longer than originally planned when the decision was made to
10 move underground, and we were able to find operating
11 solutions to mitigate until that project came in place.

12 The Mesa Loop-In Project remains the active concern.
13 The project, Southern California Edison have been working to
14 advance the in service date from its current expectation or
15 current target of March 2022. Even if they're successful, we
16 don't expect realistically that there's a chance of getting
17 the project in before the summer of 2021. We would obviously
18 prefer to see the project in as early as possible, but we do
19 see needing to be planning for the summer of 2021 assuming
20 that the Mesa Loop-In is not in service.

21 Now, what that means is fine tuning our studies to
22 determine if we need to defer Alamitos and to what extent --
23 or defer its retirement to the remaining units and to what
24 extent.

25 One of the things that we've had to take into account

1 in this analysis is that the peak demand forecast in these
2 areas is relatively volatile subject to change based on
3 environmental conditions and year over year learning. So
4 there has been slight downward pressure on the forecast for
5 the area. So that is why we are looking at conducting and
6 we're in the middle of conducting a special study focusing on
7 the L.A. Basin requirements for the summer of 2021 which
8 would be the basis for starting the process, if necessary,
9 for an extension to the OTC compliance date with the State
10 Water Board.

11 So normally our studies at this time would focus on
12 2020, but the 2021 work is a special effort just focusing on
13 this particular need. We wouldn't be expecting that to
14 determine the final megawatt number that we actually require
15 because there would be another study being conducted next
16 year as well. But we do need to take into account the OTC
17 compliance date requirements with the Water Board and the
18 reasonable timeline it takes for them to identify and grant
19 an extension.

20 One of the other issues that we identified last year
21 that we also have to take into account is that while the peak
22 demands in these areas have been relatively constant, the
23 time of day has been shifting to later in the day when the
24 peak is experienced. And one consequence of that is that it
25 puts more pressure on the ability for grid-connected solar

1 resources to play a part in meeting the local needs.

2 So we do have to take into account that as the peak
3 moves later in the day, we are less able to count on grid-
4 connected solar as part of the -- meeting the need of the
5 local peak -- peak demand.

6 This graph is also just a broader picture showing for
7 the San Diego service territory overall. Just demonstrating
8 how the behind the meter rooftop solar that's been connected
9 has had -- had an initial result of putting downward pressure
10 on the forecast but now additional rooftop solar is simply
11 moving the peak out to a bit later in the day.

12 So our next steps going forward are really focused.
13 We don't consider it credible that the Mesa Loop-In Project
14 could be advanced to before the summer of 2021 but we are
15 continuing to work with Edison on that. And in the meantime,
16 studying the local capacity requirement to determine if it is
17 necessary to seek an OTC extension for Alamitos and to try to
18 give an estimate of the capacity requirement that that would
19 take.

20 Now, the other -- what I haven't touched on in this
21 presentation are the gas supply concerns. I've been focusing
22 on the transmission infrastructure and generation
23 infrastructure overall. Of course, the concerns around the
24 natural gas system will be addressed separately.

25 I'll stop there and see if there are any questions I

1 can help with.

2 VICE CHAIR SCOTT: Why don't we -- we'll do all three
3 presentations and then we'll take questions from the dais,
4 unless there's a burning question right now.

5 MR. MILLAR: Thank you.

6 VICE CHAIR SCOTT: Okay. Thank you. Simon.

7 MR. BAKER: Good morning, Commissioners.

8 So the Public Utilities Commission's role in this is
9 with regard to overseeing and directing the procurement of
10 the investor-owned utilities and also administering the
11 Resource Adequacy program for all load serving entities.

12 So we've been asked to speak a little bit about what
13 the PUC has done to oversee the procurement of replacement
14 capacity for the once-through cooling plants that are
15 retiring. As was noted earlier, about 9500 megawatts of
16 CAISO area capacity is due to retire in California by
17 December 2020. And so the PUC has in our proceedings
18 overseen 3000 megawatts or procurement that's been approved
19 or is under review, contracts that have been signed and are
20 under review. That procurement authorization came out of our
21 long-term procurement plan proceeding in two tracks, the
22 Track 1 and Track 4 decisions. And the way that breaks down
23 is we have about 2200 megawatts of new or existing gas power
24 plants that have been procured. And the good news is we have
25 about 800 megawatts of preferred resources that have been

1 procured out of that process.

2 So given that we've heard about the situation in
3 Southern California and the picture looks relatively good, at
4 least for the summer of 2019, we thought it would be
5 beneficial to zoom out a little bit and look a little bit
6 more broadly at system level, Resource Adequacy issues that
7 we're seeing in our program. So this slide shows for 2019
8 the total Resource Adequacy mix, relative to the Resource
9 Adequacy requirements that we're seeing.

10 And the Resource Adequacy requirements are shown in
11 the lines that cut across this graph. The one of -- that we
12 want to highlight here today is the red line which is the
13 system Resource Adequacy requirements which includes the
14 reserve margin. And as you can see, the resource stack that
15 we have here for 2019 primarily gas in pink, and then
16 stacking up to solar in yellow, and wind in blue, and then we
17 have imports there at the top. And the main takeaway of this
18 is just to show that there's a general tightening of Resource
19 Adequacy supply, and this is because the system is starting
20 to kind of approach what we would call right sizing.

21 And also it shows that we're increasing relying on
22 imports in peak months. So you can see that in July, August,
23 and September, we're increasingly relying on imports to meet
24 our system Resource Adequacy requirements.

25 At the same time, we're also seeing a change in the

1 way that retail electric load is being served in California
2 by an increasing number of load serving entities. So in
3 2014, there were 18 load serving entities serving load the
4 three investors in utilities, 14 energy service providers,
5 and one community choice aggregator.

6 Today as of May 2019, there are 36 active load
7 serving entities and the primary growth is due to CCA growth,
8 there are now 19 CCAs that are regulated to serve load. And
9 the Commission has received another nine implementation plans
10 and three expansion plans for 2020.

11 We're also seeing an imminent growth in direct access
12 load due to the partial increase in the direct access cap
13 from SB 237. And so the charts at the bottom, they basically
14 show the trend over time from 2014 with the growing wedge of
15 community choice aggregator load in red going from 2018 share
16 of load of 13 percent to 2019 share of load of 25 percent.
17 And then in 2020 and beyond, we're going to start to see some
18 changes there in that green wedge of ESB load due to the
19 increase in direct access cap.

20 So when you put these two pieces together, what
21 you're seeing is you're seeing a tightening in the overall
22 supply of Resource Adequacy in the state which is, as was
23 said earlier, increasing our reliance on out-of-state
24 resources during peak months. And this is a -- this is a
25 concern because well -- because of climate change, our

1 reliance on out-of-state hydro becomes increasingly
2 uncertain. And also because of retirements throughout the
3 western interconnect of coal and other generating resources,
4 our ability to retire -- to rely on those out-of-state
5 resources becomes more uncertain as other areas may need
6 those resources.

7 We've also seen unexpected mothballing of plants and
8 retirements of plants which is reducing in state capacity
9 further. So in -- and also in addition to that in the
10 Resource Adequacy proceeding the -- there's a proposal of
11 staff to revise the calculations of the net qualifying
12 capacity of solar and wind resources which would result in an
13 overall reduction of the contribution towards capacity from
14 those resources by about 15 percent -- 50 percent.

15 So these things in combination are contributing to
16 the -- this tightening of system supply. In addition,
17 because of the changes in the retail market landscape, we're
18 seeing some potential market power concerns, especially
19 within the transmission constrained areas and subareas due to
20 this right sizing of supply that I was -- spoke about
21 earlier.

22 CHAIR HOCHSCHILD: Sorry, could you -- could you go
23 back to the -- what is driving a 50 percent reduction in the
24 ELCC? Can you explain that --

25 MR. BAKER: What it is is that we are modifying the

1 methodology within the resource adequacy proceeding. There's
2 a proposal to modify the methodology to account for changes
3 that we're seeing in the contribution of these resources
4 towards peak capacity.

5 COMMISSIONER RANDOLPH: Is that due to the peak shift
6 that you were talking about earlier just in terms of more
7 behind the meter or do you have any more detail on what's
8 driving that?

9 MR. BAKER: That's one contributing factor, Neil
10 might be able to chime in here as well, and we're also
11 looking at some of the more technical aspects of the
12 methodology and how probabilistic assessments, when you
13 refine those methodologies result in more conservative
14 estimates about the contribution towards peak.

15 Okay. So just to continue on with the -- so we're
16 seeing some, as was noted earlier, the retail market
17 fragmentation. And what this is doing is they're -- because
18 of the way that power is procured, it's often procured in a
19 lumpy way. So as you get a -- multiple different buyers for
20 the Resource Adequacy capacity, we're seeing some
21 irregularities in the market, and as a result we've seen 11
22 requests for Resource Adequacy waivers both in 2018 and in
23 2019.

24 So what are we doing about this? What are some
25 possible solutions? One option is to consider requiring

1 additional procurement of new or mothballed resources and
2 this is an issue that the Commission plans to take up in the
3 integrated resource planning proceeding which is the
4 successor to the long-term procurement plan proceeding where
5 a new track has been opened to consider short-term
6 procurement needs that may exist.

7 Also in the Resource Adequacy proceeding there's a
8 newly adopted requirement for multi Resource Adequacy
9 procurement and this is designed to discourage the exit of
10 existing resources. So a decision in February of this year
11 approved a three-year requirement for local capacity
12 requirements. And in addition, the parties in the proceeding
13 are considering a mechanism for a centralized procurement
14 mechanism for local capacity.

15 The Commission also took action in 2018 to procure
16 certain OTC capacity up to compliance deadlines, went -- took
17 an action to require the Southern California Edison to
18 procure capacity for Ormond Beach and Ellwood through
19 December of 2020.

20 And then we're aware as well that the CAISO is now
21 considering potential modifications to mothball and
22 retirement rules in their Resource Adequacy enhancement's
23 initiative and we're monitoring that closely and
24 collaborating with the CAISO on that. Thank you.

25 VICE CHAIR SCOTT: Great. Thank you very much.

1 Let me turn to my fellow dais members and see if
2 there are questions.

3 Yes, Mark, please go ahead.

4 MR. ROTHLEDER: Yeah, Simon, I really appreciate this
5 presentation and also the attention to the -- the system
6 capacity situation. I think we're seeing similar tightening
7 of conditions and I think we do share the concern and support
8 that there needs to be some kind of action plan looking
9 forward.

10 Some of the more subtleties that we're seeing is
11 you've already mentioned, kind of that shift peak to hour
12 ending 17 to 18 or later, and then not aligning necessarily
13 with the solar production which reduces the contribution to
14 the peak and that's one.

15 I think another thing that we're seeing, too, is the
16 credit that -- or expectation, net qualifying capacity on the
17 hydro sometimes will -- may exceed what we see as maximum
18 hydro production in reality. So that may be something to
19 look at as you kind of refine the assessment.

20 And then the third part is the uncertainty about
21 those imports. I think imports we are seeing, too, where at
22 peak conditions, high-load conditions in California tends to
23 be the period of time where the availability of that energy
24 from outside the area tends to taper off especially in drier
25 years.

1 So I think those three things in combination looking
2 forward with kind of the roll off of that last tranche of OTC
3 resources kind of raises some questions looking from 2019
4 looking forward. And I'm just curious looking back on your
5 graph on the previous slide, on 2019 view, do you have a
6 similar graph developed for projecting out to 2021?

7 I know it's hard to do that sometimes because you
8 don't have a good view of all the resources that are going to
9 be procured, be available at that time. But I think looking
10 out and projecting that may be telling and maybe emphasize
11 the importance of developing the plan earlier than later.
12 So, that's one question.

13 The second question on the graph is, does the yellow,
14 the solar, does that represent the NQC or the revised ELCC
15 contribution at this point? Thank you.

16 MR. BAKER: Yeah, so we do have a graph like this for
17 2020 and I believe even 2021. It's just that as you noted as
18 you start to project out further, the assumptions become more
19 and more uncertain. And so given that today's workshop was
20 really focusing on 2019, we thought it most appropriate to
21 put the 2019 graph here. But we can certainly share with you
22 what we have for 2020 and provide all the necessary caveats
23 behind it in terms of the assumptions.

24 And then as far as the solar, I don't know directly
25 the answer to your question but my hunch is that since the

1 ELCC proposal is only a proposal of staff at this point and
2 it's not adopted by the commission yet, that this is probably
3 the current NQC methodology for solar.

4 VICE CHAIR SCOTT: Other questions from the dais?

5 Yes, please go ahead, Laki.

6 MR. TISOPULOS: The shift that you seen the peak and
7 you were showing as on your slide the San Diego area, do you
8 see something similar with the Los Angeles area?

9 MR. BAKER: I might defer that to Neil.

10 MR. TISOPULOS: Oh, I'm sorry, it was Neil, I think,
11 yeah.

12 MR. MILLAR: Yes, it's Neil here. Yes, that was in
13 my deck. And, yes, we see the same trend pretty much across
14 the board. The rooftop solar has really been taking off.
15 And that's resulted in every area where it's taking off, that
16 shift occurring that the peak demand is gradually moving to
17 later in the day.

18 MR. TISOPULOS: Got it, got it.

19 And Simon, one question to you. You mentioned the
20 centralized local capacity procurement, could you elaborate
21 what that -- what does it entail?

22 MR. BAKER: Yeah. It gets to some of the issues that
23 we've been seeing in the Resource Adequacy program again
24 because of retail market fragmentation. And so the sellers,
25 the generators, are saying that it can be challenging to work

1 with multiple small retail load serving entities. Many of
2 them are very small and so they're buying very small
3 quantities of capacity. And so especially given the strict
4 timelines of their Resource Adequacy program of when
5 procurement needs to happen, when showings need to be made
6 and so forth, it can be challenging for all that to come
7 together in a sensible way.

8 And so the concept in a proceeding is to consider
9 well, might there be a centralized procurement entity that
10 could procure on behalf of all the load serving entities and
11 then have some cost allocation mechanisms to work out who
12 pays for what on the backend. So that's something that's
13 being considered in the proceeding right now.

14 VICE CHAIR SCOTT: Let me check to see whether
15 Commissioner McAllister or Douglas have questions from the
16 WebEx.

17 COMMISSIONER MCALLISTER: Yeah. I have a question.
18 This is Commissioner McAllister.

19 You know, in our forecasting work here at the
20 Commission and also in a couple of the presentation we heard
21 just now, you know, there's this graphic representation of
22 the peak shift being, you know, later and later.

23 And I'm just wanting to be crystal clear in my
24 question, is the only reason for that, the suppression of
25 demand earlier in the day and evening by solar? And the

1 flipside of that would -- flipside question would be, is
2 there any other dynamic going on that is pushing peak back,
3 such as behavior or anything like that? My impression from
4 all of our work is that -- essentially what we've got left
5 over is a residual net demand after you sort of take out, you
6 know, displace midday and early evening consumption with
7 rooftop solar and solar generally.

8 Is that the 100 percent of the reason or are there
9 other dynamics going on that are pushing the peak back?

10 MR. MILLAR: It's Neil here, I'll take the first shot
11 at this. Our understanding is that the primary influence is
12 the behind the meter solar. There could be smaller effects
13 on some of the programs like energy efficiency because
14 generally the growth -- the gross customer consumption of
15 energy is still there, it's just being supplied by rooftop
16 solar.

17 So the peak of the day is still in the highest
18 overall consumption is occurring. So any other programs that
19 are pulling the gross consumption down behind the meter as
20 well could also be having an impact. That's a bit of
21 speculation but the primary issue that we're aware of is the
22 rooftop solar.

23 MR. ROTHLEDER: So since we're on the topic of load
24 forecast itself, I believe the forecast used for the graph
25 and the requirements is a -- what's called a one and two load

1 forecasts. Could you -- one of you explain what one, two
2 load forecast means and what -- well, what it means and what
3 does it mean for potential higher or lower loads actually
4 occurring?

5 MR. BAKER: Well, one and two is basically a fancy
6 way of saying the average, it's the middle of the bell curve.

7 MR. ROTHLEDER: I have one more question for Neil.
8 You mentioned the potential need for extending for the local
9 regions for the Mesa Loop-In timing. If that were to come to
10 fruition, what -- it seems like there's a new Alamitos
11 resource and then potentially the existing Alamitos resource.
12 What capacity would be available if extension were to be
13 requested and approved?

14 MR. MILLAR: Yes. It's our understanding that after
15 the units that are being retired to free up air credits and
16 to allow the new construction to move forward and come
17 online, that would still leave about a 1000 megawatts or just
18 over a 1000 megawatts of capacity at Alamitos that would, all
19 other things being considered, would be expected to retire on
20 December 31, 2020 to comply with the OTC requirements.

21 Now, out of that just over 1000 megawatts, studies in
22 the past have identified ranges of anywhere from 400 to I
23 believe 900 megawatts of potential requirement as we've
24 looked at different years of forecasting. So that number has
25 moved around. There's generally been a need for some of that

1 1000 to be retained if the Mesa Loop-In project was delayed.
2 So we're talking in that range but it would be out of that
3 over 1000 megawatts that would otherwise be available at
4 the -- or expected to retire at the end of 2020.

5 VICE CHAIR SCOTT: I had a question for you based on,
6 Neil, the special study that you said you will be carrying
7 out for the Mesa Loop-In.

8 Do you have a timeline for that? And then my follow-
9 up question on that also goes to Simon about the short-term
10 procurement process that the PUC is putting together. Are
11 they kind of aligning such that if you identify different
12 needs that we may need to procure for that short-term
13 procurement process will be in place to kind of assist with
14 that?

15 MR. MILLAR: Sure, yes, we do have the timeline. The
16 timeline is that we are targeting having the study out by the
17 end of June so that we can decide whether -- if we do have a
18 requirement, the expectation is that we would call for a
19 special meeting of the SACCWIS committee to make a
20 recommendation to the Water Board for an extension.

21 And the timing is really driven by what it would take
22 to give the Water Board appropriate time to get through their
23 process to move forward with an extension. So that's why we
24 are doing this on an accelerated basis targeting the end of
25 June for the study and then moving in to the SACCWIS process.

1 MR. BAKER: And, yes that's right. Integrated
2 Resource planning proceeding we're anticipating issuing a
3 ruling soon to begin that process imminently.

4 And we also have Commissioner Randolph here, she's
5 the lead commissioner for that proceeding as well.

6 VICE CHAIR SCOTT: Thank you. Yes, go ahead. Take
7 the last question.

8 MS. ACEVES: Just a quick follow up to your question,
9 Commissioner Scott.

10 The study that you're doing, Neil, is going to look
11 at the entire part -- or the entire L.A. Basin or just the
12 northern part?

13 MR. MILLAR: No. The study looks comprehensively at
14 both the L.A. Basin and San Diego area requirements because
15 the area's -- ever since San Onofre retired, we've really had
16 to study each area individually and then the collective
17 whole. So we're duplicating that entire analysis that's
18 normally part of our annual one-year head study. But here
19 we're updating it to look two years out with the latest
20 available information. So that any recommendation we make is
21 on -- based on the latest most up to date information
22 possible. But it would look at the L.A. Basin, San Diego,
23 and the combination.

24 MS. ACEVES: And are you also going to include -- as
25 part of your analysis some of the alternatives as you did for

1 Moorpark where you looked at not just the need but preferred
2 alternatives including additional transmission to meet the
3 need?

4 MR. MILLAR: Given that this is only focusing on the
5 summer of 2021, we've been focusing on resources that we know
6 of that are already moving forward because that's not a lot
7 of time to get anything new in place. So that's what we've
8 been focusing on and we do see the solution just around the
9 corner being the Mesa Loop-In project is coming, it's just
10 not available for that summer.

11 MS. ACEVES: I see.

12 MR. MILLAR: So, we see it as a very short-term
13 extension just for that specific need.

14 Now, any other resources that we're aware of in the
15 meantime, we will be taking in to account in the study.

16 COMMISSIONER RANDOLPH: And I'll kind of add in
17 response to Commissioners Scott's question about the sort of
18 near-term procurement in IRP. I don't think that what we
19 would be seeing as part of that procurement would be online
20 for that timeframe either.

21 I mean, what we're still -- we'll still be working on
22 it and that information will be useful but it's not -- I
23 don't think they're necessarily -- that's necessarily the
24 solution.

25 VICE CHAIR SCOTT: All right. Well, great first

1 panel, thank you guys very much.

2 I'd like to invite our second panel to come on up.

3 And while we're making that quick shift, I just want
4 to do a reminder for the blue cards. If you're a member of
5 the public and you'd like to make a comment, the blue cards
6 are on the table right out front. If you pick one up and you
7 put your information on it, and then you can hand it either
8 to our public advisor or to Heather and she'll get those to
9 us. That's how we'll know you'd like to say something.

10 So give us just about 30 seconds here while our
11 second panel comes on up. And we'll keep going. Thank you,
12 first panel.

13 Okay. Like a -- almost ready. Ready? All right.
14 Good morning.

15 MR. KIRAN: My name is Rabi Kiran, I'll be providing
16 the SCE Transmission update.

17 So the way the presentation is broken up is it's
18 broken up into the types of transmission projects. So we
19 have transmission projects required for load service,
20 transmission projects required for delivering renewables, and
21 transmission projects required for local capacity
22 requirements.

23 So this slide here talks about projects --
24 transmission projects required for load service. And we have
25 two projects both located in Riverside County. The first

1 project is the new Alberhill 500/115 kV substation, it's
2 basically proposed to relieve overloads on the Valley 500/115
3 kV system by looping in the Serrano to Valley 500 kV line.

4 So the status of the project is that the CPCN was
5 filed in September 2009 and amended in March of 2010. The
6 proposed decision to deny was issued in April of 2018. SCE
7 comments of proposed decision was provided on May of 2018.
8 And then CPUC decision held the application open and directed
9 SCE to supplement the existing record with additional
10 analysis in August of 2018.

11 And just recently there was a data request and so we
12 submitted the first data submittal on April of 2019 and we're
13 estimating the second submittal to -- sometime in
14 September/October later this year.

15 So based on the initial plan, we had an estimated in-
16 service date of quarter four of 2021. But due to this delay,
17 we're estimating the completion date to be quarter four of
18 2025.

19 So the second project is the Riverside Transmission
20 Reliability project, it's a new 200 -- 230/66 kV substation.
21 Basically provides a new 230 kV interconnection to the City
22 of Riverside to address load growth and improve reliability.
23 The status in the CPUC draft supplemental EIR was submitted
24 in March of 2018, the deadline to submit comments was May of
25 2018, the final subsequent EIR was October 2018, and we're

1 anticipating the CPUC final decision sometime in March of
2 2020. Based on that, we're estimating the completion date to
3 be quarter three of 2024.

4 So we have two projects that -- transmission projects
5 that assist and deliver renewables to the L.A. Basin. The
6 first project is the El Dorado-Lugo and the Lugo-Mohave 500
7 series capacitor upgrade project. As the name implies, we're
8 upgrading the series capacitors on the two 500 kV lines,
9 which in essence help deliver power in to the L.A. Basin.
10 So this project expands from San Bernardino County all the
11 way up to Clark County in Nevada.

12 The CAISO approved this project in its 2012/2013
13 CAISO TPP, so I guess the El Dorado-Lugo 500 kV line series
14 upgrade was approved in the 2012/2013 TPP. And it was
15 approved as a policy driven project and subsequently Lugo-
16 Mohave 500 kV line was approved in the 2013/2014 CAISO TPP.

17 The CPCN was -- will be submitted in April of 2020
18 and we're anticipating construction start date in March of
19 2020. Based on that, we're estimating the completion of the
20 project to be quarter two of 2021.

21 So, the second project is the West of Devers 230 kV
22 transmission line upgrade project. Basically in Riverside
23 and San Bernardino Counties we're upgrading various 230 kV
24 lines. And these upgrades are required for the
25 deliverability of renewable projects in the area.

1 The CPCN was issued in August 2016, the BLM record of
2 decision was approved in December 2016, started the
3 construction in January of 2018. Based on that, we're
4 anticipating completion of the project in quarter four of
5 2021.

6 So we'll go to the third category which is related to
7 the local capacity requirement. For the first project is the
8 Santa -- in the -- sorry in the Moorpark Goleta area, it's
9 the Santa Barbara County Reliability project which upgrades
10 66 kV lines between SCE Santa Clara and Goleta substations to
11 address the loss of the 220 -- 230 kV lines that serve
12 Goleta. And this project came online just recently in April
13 of 2019.

14 The second project, the Moorpark-Pardee number four
15 line was proposed to address what you see retirement of
16 Mandalay Bay, and Ormond Beach generating plants. And
17 really, it's stringing of four circuits on existing towers.
18 This project was approved in the 2017/2018 CAISO TPP as a
19 reliability driven project. Detail -- currently, detailed
20 engineering is underway, we hope to start construction later
21 this year, quarter three of 2019, and based on that, we're
22 targeting a completion date of quarter four of 2020 to meet
23 OTC compliance.

24 And the last project is the Mesa 500 kV substation
25 project in the western L.A. Basin. This is -- the project

1 was also required to support retirement of OTC generation,
2 particularly Redondo Beach, Huntington Beach, and Alamitos in
3 the western L.A. Basin, approximately 3800 megawatts of
4 generation and this was to loop in the existing Mira Loma to
5 Vincent line into a new 500 kV substation. The PTC was
6 issued in February 2017, we started construction in October
7 of 2017, and the latest date that we have for the estimated
8 completion is March of 2022.

9 Just to touch on what Neil had said, we realize that
10 this is an important project, talked to our project manager
11 and they are looking at various ways to perhaps meet an
12 earlier date, but there's too many variables at this time and
13 we're the -- committing to a March 2022 date.

14 That's all that I have, if anybody has any questions.

15 VICE CHAIR SCOTT: I think like the last panel,
16 unless there's any burning questions, we'll let all the
17 panelists speak and then we'll do questions from the dais.

18 MR. LEE: Good morning, Commissioners, my name is
19 Gene Lee, I work in Southern California Edison's Energy
20 Procurement Group.

21 I just have a few slides today. We'll be talking
22 about a couple things. First off, a recent solicitation that
23 we completed named the 2018 LCR RFP that was specifically a
24 procurement activity for the Moorpark area which is -- sort
25 of straddles the Ventura and Santa Barbara County up in the

1 Los Angeles Basin's northwest coastline area. So as I
2 stated, we completed that recently so I'll go over the
3 results for that and then just provide generally an overview
4 of SCE's preferred resource energy storage procurement to
5 date which has been, I like to think substantial.

6 So the LCR RFP, as I noted, was a targeted local
7 capacity requirement's procurement activity in the Moorpark
8 area. Specifically, we were targeting two A-bank substations
9 the Goleta and the Santa Clara Substation as areas of need --
10 as areas of need identified. We had additional objective to
11 enhance a resiliency effort in the Goleta system, the Goleta
12 A-bank Substation specifically is near the end of the
13 transmission system and is therefore little more -- can be
14 affected a little bit more by outages in the particular area.

15 So the procurement activity took probably the better
16 part of a year. The portfolio that we wound up with and are
17 currently going through the contract approval process for was
18 basically 195 megawatts of battery-based energy storage
19 resources. This is not uncommon, this is in line with what
20 we've been seeing with a lot of procurement activities that
21 we've been doing as of late.

22 Along the bottom you can see sort of a flow chart of
23 the various resource mixes. As the procurement process went
24 on, it kind of winnows down over time. We did receive offers
25 for other resource types besides in front of meter storage,

1 there were gas offers received, other preferred resource
2 types such as demand response for EE, not as much as an
3 amount. And then overtime as we winnow down the portfolio
4 looking at pricing and viability, it became increasingly more
5 a storage basically procurement activity.

6 And so this table actually shows the contracts that
7 were executed by the SCE as part of the solicitation. It
8 shows basically the developer, the name of the project, the
9 resource type, which basically in this case just delineates
10 whether the project was in front of the meter or behind the
11 meter. There was one behind the meter project, the contract
12 with Swell, which essentially they're installing customer-
13 based -- customer sighted storage sort of dispersed just
14 through the area, capacity and the commercial online date,
15 the nominal online date being June 1st of 2021.

16 So the Moorpark activity was probably our largest and
17 most recent activity. Just wanted to discuss some of the
18 other preferred resources storage procurements that we've
19 done. So LCR 2018/2019 which I just discussed and we
20 actually started out in 2013 which was also the genesis for
21 some of the repowers that were discussed in the previous
22 panel.

23 Several years ago we instituted a preferred resources
24 pilot. We were attempting to procure DERs specifically in
25 the Orange County area. To this point, we've run two Aliso

1 Canyon energy storage specific solicitations that was to
2 address the operational issues due to the shutdown at that
3 particular facility that was storage specifically.

4 We continue to do RPS procurement to attempt to meet
5 RPS requirements and REC sales basically to meet those
6 compliance targets. In addition, we've undertaken some
7 specific distribution deferral for distribution liability,
8 preferred resource and storage procurement activities, that's
9 a relatively new occurrence. And we have a host of smaller
10 program tariffs that we run which are generally meant to
11 submit -- to meet policy goals that are ongoing.

12 And so there are a number of activities that we have
13 out there for preferred resources and storage. I would say
14 as of late as I noted previously, the energy storage has been
15 probably the predominate technology that we've seen and has
16 also has been the most attractive from a solicitation
17 standpoint.

18 So this table lists basically the storage procurement
19 that's been done probably starting since 2013 or so. You can
20 see it's also bifurcated by essentially the domain that the
21 storage is in, whether it be transmission, distribution, on
22 the customer side. Fairly well balanced and it amounts to
23 roughly a little over 100 -- 700 megawatts procured by SCE.

24 Oh, I think that's my last slide. Thank you.

25 VICE CHAIR SCOTT: Thank you.

1 We'll go on to David.

2 MR. THAI: Good morning. My name is David Thai, I'm
3 with the Origination Organization at San Diego Gas and
4 Electric, and I'm pres -- looks like our presentation's not
5 up yet so.

6 MS. ACEVES: Maybe I'll ask Gene a question while
7 we're waiting. Okay. For your Swell storage that you
8 mentioned.

9 MR. LEE: Yes.

10 MS. ACEVES: Does that include dispatch rights?

11 MR. LEE: It does include dispatch rights.

12 MS. ACEVES: Okay. And the SGIP amount over a
13 hundred megawatts, how are you accounting for that? Is that
14 just load reduction or are you accounting for it in any sort
15 of flex or not at all?

16 MR. LEE: When you say accounting for it, as far --
17 could you maybe rephrase possibly?

18 MS. ACEVES: How are you accounting for it in meeting
19 any of your demand needs?

20 MR. LEE: Yeah. So I mean it gets folded into the
21 various planning processes as storage that is available.
22 Exactly how it gets flowed through the IEPR process, for
23 example, I'm not a hundred percent sure exactly but it is
24 accounted for when we talk about the residual demand.

25 MS. ACEVES: Okay. So just on the demand side?

1 MR. LEE: Yeah.

2 MR. THAI: We'll try that again. All right. Hi, my
3 name is David Thai, I'm with Origination Organization. I'm
4 presenting on an update on the Encina Power Plant
5 decommissioning status, an update on the Carlsbad Energy
6 Center, and SDG&E's preferred resources procurement.

7 As mentioned earlier, back in 2010 the California
8 State Water Resources Board had approved the once-through
9 cooling policy facilities like the Encina Power Plant needed
10 to meet these new OTC policy requirements or cease
11 operations. The original date for Encina Power Plant's
12 retire -- compliance due date was December 31st of 2017. It
13 was subsequently modified to December 31st of 2018 in
14 August 15 of 2017 due to delays in the Carlsbad Energy Center
15 Power Plant's development. Effective December 11th of 2018
16 Encina retired, they're currently going through their
17 decommissioning process. We expect that to conclude
18 officially Q4 of 2021.

19 As mentioned in the prior slide, Carlsbad Energy
20 Center's became comer -- Carlsbad Energy Center's became
21 commercially operational December 12th, this was critical to
22 ensuring Encina Power Plant could be decommissioned due to
23 reliability issues. This is a 500 megawatt gas fire facility
24 approved by the CPC on May 21st of 2015. The image to the
25 right shows the 5 GE LMS 100 units, four of them stacked

1 together, of which is com -- Carlsbad Energy Center's
2 comprised of, to the right side of that image you can see the
3 legacy Encina Power Plant.

4 In terms of -- next slide -- in terms of preferred
5 resources procurement, SDG&E launched a solicitation in 2016
6 for preferred resources in its local area. We received --
7 ended up contracting with six different counterparties for
8 five energy -- battery energy storage projects, one demand
9 response project. We submitted an application 1704017 of
10 which received approval April 25th of 2018, approving all
11 approximately 88 megawatts of capacity. And as you can see
12 in the table, there's the listed resource name and expected
13 online dates.

14 Finally, we wanted to include a slide on the
15 Integrated Resource Plan given that's going to dictate and
16 drive future preferred resources in San Diego's area to meet
17 the state's goal of decarbonizing the system but doing so
18 such that we don't -- do not jeopardize reliability and make
19 cost effective decisions.

20 To the right side of this slide, you can see a bar
21 graph that illustrates we'll need 12,000 megawatts of wind
22 solar preferred resources by 2030 to meet the State's GHG
23 reduction targets of 42 million metric tons. SDG&E will be
24 contributing to this effort by means of distribution of
25 estimate of deferral frame work solicitations and GTS are

1 green tariff shared renewables solicitations to name a
2 couple.

3 That's all I have. Thank you.

4 VICE CHAIR SCOTT: Thank you.

5 We'll hear from Jason.

6 MR. RONDOU: All right. Good morning. My name is
7 Jason Rondou, I'm manager of Strategic Development and
8 Programs at LADWP and I'm going to present on LADWP's recent
9 news around once-through cooling and some of our accelerated
10 renewable plans that were announced recently. Touch on how
11 that's going to impact our transmission planning process.
12 And then a wrap up with some of our preferred resources just
13 to resource plans and how that's going to change in the near
14 future.

15 So starting off here, many of you are aware of this
16 but in February it was announced that the three coastal
17 generating stations that have once-through cooling units
18 remaining at them, that the city of Los Angeles and LADWP
19 would not be reinvesting in repowering those units.

20 And so that doesn't mean that the plants will be shut
21 down by 2029 or 2030, it means that the units that were
22 slated to be repowered and get off of ocean cooling, would
23 not be repowered as we had previously planned to do.

24 And to give some context on this, about two years
25 ago, we initiated a study that looked at what could we do as

1 an alternative to that repowering. So looking at local
2 storage, local transmission, large scale transmission as
3 well -- or sorry, out of basin transmission as well, and
4 utilities scale resources. So a mix of what could replace
5 that nearly 1660 megawatts of natural gas.

6 And so what that did is we know that, you know, the
7 goal here is 100 percent by 2045, that simply took one path
8 there off the table. And so in addition to that, last month
9 the Mayor released the sustainability plan which was also
10 titled "The Green New Deal" for Los Angeles.

11 And one of the significant items here is the
12 acceleration of renewable energy by 2036. And you see in
13 this graphic here 80 percent by 2036. And when you factor in
14 other non -- technically nonrenewable resources, that's
15 actually 96 to 97 percent fossil fuel free. And so that's a
16 significant acceleration for us. And it's a major change in
17 the way that we operate our grid and the way that we deliver
18 energy.

19 In addition to that major goal, there was also some
20 additional goals around building electrification and electric
21 vehicle deployment. And so what that would mean for Los
22 Angeles is for all new buildings by 2030 to be fully electric
23 and then all buildings to be fully electric by 2050. On the
24 EV side, the entire fleet of metro buses and buses operated
25 by the city of Los Angeles would be fully electric by 2030 as

1 well with the goal of a hundred percent transportation
2 electrification by 2050.

3 So these are major pressures on the demand side but
4 as well as the supply side as well. And so I'll talk about
5 how that's going to impact a lot of our planning processes.

6 And so we had anticipating releasing an update to our
7 strategic long-term plan this year, but with the change in
8 plans that have arisen over the last several months, what
9 that has caused us to do it is reorient our strategic long-
10 term plan and align that with our 100 percent renewable study
11 that we're conducting with NREL at the moment.

12 And so what that will mean is, you know, we need to
13 look at what are the resources that we need to deploy over
14 the next, you know, five to ten years to replace that
15 capacity and to replace that energy. And at the same time,
16 we don't have the luxury of waiting until the end of 2020 to
17 start getting to work on a lot of these plans. And so what
18 we're doing now is identifying sort of the low hanging fruit
19 and the sort of no regrets transmission in DER projects that
20 we can do over the next several years to help bridge that
21 gap.

22 So jumping into the transmission slide here just to
23 give a little bit of an overview of our system.
24 Significantly, I'll start talking about this -- the piece
25 labeled D and as you'll see the red line at the top. That's

1 our Owens Valley line. We bring in a massive amount of
2 renewable energy and that is actually growing at this point
3 as well. Just to the left of that is our PDCI, Pacific DC
4 Intertie line that comes in and provides energy down to the
5 Sylmar portion as well.

6 And on the left-hand side we have our Vic-LA, or
7 Victorville/Los Angeles line that brings in, again, a
8 significant amount of energy as well into the L.A. Basin.
9 And the rest of the lines here are local transmission.

10 And so, what the recent news means for us is a
11 potentially significant growth in -- to the degree of
12 hundreds of miles of new transmission both on the local level
13 in basin but also at the large-scale level as well.

14 So in addition to that, and I'll touch on this a
15 little bit later, going down that path of accelerating the
16 deployment and to the expansion of transmission lines, we
17 need to simultaneously redouble our efforts on the
18 distributed energy resource side. And again, I'll talk about
19 that in a moment.

20 So talking about some of the recently completed
21 projects here on the transmission side. So we recently
22 completed the Barren Ridge transmission line upgrade which
23 allows us to bring over 1000 megawatts of renewable energy in
24 the basin here and we've got another 100 megawatts that's
25 actually coming in later this summer.

1 And I'll talk more about this later but we're
2 currently wrapping up negotiations on a large-scale solar and
3 storage project that will provide a little bit more
4 flexibility here. And so what we're doing, what you're
5 seeing here is that we're leveraging this existing line into
6 the city of Los Angeles but one of the tradeoffs that we have
7 is the geographic diversity. So you see a substantial amount
8 of solar and renewable resources all coming in on this one
9 single line and so that's where this next upgrade that we've
10 got slated becomes increasingly important.

11 And so to mitigate that geographic diversity loss
12 that we have of bring on -- bringing in all of this renewable
13 energy, we're planning to upgrade this to 1700 megawatts of
14 capacity to come in to the city of Los Angeles by tying in
15 Castaic and allowing that pump storage resource to help
16 mitigate some of that, you know, intermittency as well.

17 And to I think most of you are aware of this, but for
18 those of you who are not, the city of L.A.'s
19 peak energy usage is 1600 -- sorry, 6400 megawatts of energy
20 of peak demand. And so when you're talking about 1700
21 megawatts of renewable coming in a single line, that's a
22 substantial piece.

23 In addition to that, we are looking to upgrade our
24 Vic-LA path as well. So when you talk about bringing in mass
25 amounts of utility scale renewables, we need to be able to

1 create the capacity to actually bring that in to Los Angeles
2 to actually get that home. And so over the next couple of
3 years we're going to be upgrading out Victorville/LA path to
4 be able to do that.

5 In addition to that, we are looking to leverage these
6 existing resources that we have here. So we have another
7 over 600 megawatts of capacity to bring in via the
8 transmission lines that currently connect to the Navajo
9 Generating Station location. So you can see the transition
10 from fossil fuels to renewable energy, we've got a great
11 opportunity here at Navajo as well to bring in those
12 renewable resources.

13 Similarly at Mohave we also have the ability to do
14 that to the tune of 700 megawatts of renewable energy as
15 well.

16 So moving along quickly here. Some of the more
17 longer term things that we're looking at is on the
18 Victorville/LA path looking at high voltage AC or DC and
19 again, that's going to allow us to bring in even more
20 renewables.

21 On the Southern Transmission System, currently we're
22 bringing in coal energy through that transmission line but as
23 we transition to renewables here, it would allow us to bring
24 in potentially over 1,000 megawatts of renewable energy. And
25 so again you're starting to see a little bit better

1 geographic diversity of those renewable resources that come
2 in. And along that line we'll also be looking at potentially
3 compressed air storage as well that will help mitigate some
4 of that intermittency.

5 So moving on to the distributed resource side. So in
6 light of the news that came in in February about not
7 repowering as well as the accelerated renewable targets
8 that -- accelerated interim renewable targets, we recently
9 released a distributed energy resources RFI where we are
10 looking to the industry to bring in ideas on how we can
11 mitigate the loss of that local in basin generation, again
12 1660 megawatts of in basin generation. So those responses
13 are due mid-June. There's a possibility that we extend that
14 out a little bit but we do expect that to close in June. And
15 then subsequent to that, we'll evaluate, we'll look at the
16 different proposals and then we'll issue subsequent RFPs
17 shortly thereafter.

18 And kind of touch on some of the recent
19 accomplishments on the local solar side. And so you'll see a
20 graph here that is going to change with the news that we're
21 going to accelerate renewables. These are graphs that are
22 from our last year strategic long-term plans. So quickly
23 going through this, we've got about 350 megawatts of local
24 solar in the city of L.A. right now. We're recognized as the
25 number one city for solar in the country and that's largely

1 due to a mixture of our local portfolio of renewable solar
2 programs.

3 Our Feed-in Tariff program which is a strategically
4 important program for us, where we're purchasing energy,
5 power purchase agreements from customers in basin and so this
6 will allow us to achieve renewable energy credit as well as
7 reach our renewable and in basin solar goals. We also have a
8 growing portfolio of community solar programs as well. So we
9 recently just launched our shared solar program where we're
10 allowing multifamily customers to subscribe to solar rates
11 that will help provide fixed rate for their energy over the
12 course of ten years. So for customers and customers that
13 can't afford to go solar or don't have a roof or don't have a
14 suitable roof, we have a growing portfolio of programs for
15 them as well.

16 And as we go down this path of 100 percent
17 renewables, the cost of that transmission is making equity
18 obviously a significant portion -- significant consideration
19 for us as we go down that path, especially for the
20 distributed resource programs.

21 On energy storage, I'm going to quickly go through
22 this and talk about a number of the distributed energy
23 resource energy storage projects that we have sponsored.
24 We've done installations, microgrid installation at a fire
25 station up in Porter Ranch. At our La Kretz Innovation

1 Center we have a solar installation as well, but notably we
2 at our headquarters in downtown Los Angeles we're installing
3 two different technologies of batteries, lithium ion and the
4 flow battery. And in addition to that we've actually got
5 solar to date in there and it's an old system that's actually
6 generating energy pretty well now, it's about 19 years old.

7 We also have about 260 EV chargers and so that's the
8 public fleet as well as employee charging as well. And so
9 what's -- what that's allowing us to do is, you know, pilot
10 and demonstrate an energy management system which we're going
11 to deploy in the future to help balance that load and balance
12 that generation. And that can be a lesson for us and for
13 customers to be able to model a future where we can balance
14 that and actually control those resources.

15 We're actually partnering with many different city
16 agencies as well. So we actually just started design and
17 construction on -- well, procurement and construction will
18 start this summer at different recreation and parks
19 facilities. And so these are strategically important for the
20 department where we've identified cooling centers in areas
21 that would be potentially most vulnerable in the event of an
22 extended grid outage to provide resiliency and a cooling
23 center for those customers in those areas.

24 And we're also looking at potentially install --
25 installing solar and storage at the Los Angeles Zoo and that

1 would be a potentially very large-scale microgrid
2 installation as well.

3 And I mentioned this earlier and I've got it up here
4 again, that we're currently negotiating a power purchase
5 agreement for solar and storage that would be likely well
6 over 100 megawatts of four-hour storage here as well.

7 And so to give a little bit of scale on that one,
8 this is our 20-megawatt beacon battery storage project that
9 we completed this past year. This is a half hour battery and
10 so the installation that -- or the contract that we're
11 currently negotiating would be potentially 100 times larger
12 than this in scale so that gives you an idea of the scale of
13 project that we're looking at.

14 Moving on to demand response. Historically we
15 haven't had a very robust demand response portfolio. In
16 part, we haven't need to have one but as we transition to a
17 more renewable future and a future reliant on distributed
18 resources, the need for growth in this DR portfolio for Los
19 Angeles is becoming increasingly important. So we actually
20 just recently increased our incentives for commercial and
21 industrial customers by 50 percent, and next year we're going
22 to launch a residential thermostat project as well.

23 And these targets are very likely going to grow as we
24 study the need for renewable -- distributed resources over
25 the course of next year with our 100 percent renewable study.

1 Moving on to electric -- transportation
2 electrification goals. So I mentioned that there's the
3 longer term goal of 100 percent by 2050, but the interim goal
4 is 145,000 electric vehicles by 2022. And so we're trying to
5 achieve that through a portfolio of different approaches.

6 And so most notable we just almost tripled our --
7 well -- our used car rebate for the city of Los Angeles. So
8 we've got a proposal to our board for consideration to go
9 from \$450 and up to \$1500 for used EV chargers. And so,
10 again, this gets back to, you know, our effort to have equity
11 as a central consideration when we deploy our distributed
12 energy resource programs as well. We continue to offer our
13 EV charger rebates as well as our substantial commercial
14 chargers.

15 We also partnered with the city on a blue L.A. car
16 sharing program. And so what we're trying to do here is
17 target disadvantaged communities and other communities that
18 don't have access to renewable -- excuse me, to electric
19 vehicles and electrical vehicle -- electric vehicle charging.
20 So this is a fully electric fleet of cars that are available
21 to our communities in public settings.

22 We also are targeting pole-mounted chargers as well.
23 So these are actually on street, you can pull up to a
24 curbside parking stall and actually charge your electrical
25 vehicle as well there. And we again, you know, finally to

1 round this out, we continue to partner with city facilities
2 as well as LADWP facilities to continue to deploy publicly
3 available chargers as well.

4 And I'm going to finish here on energy efficiency and
5 to avoid going through the detail here, the point and the
6 takeaway from this chart is that we have had a very
7 substantial growth over the last two years in our energy
8 efficiency budgets and this is not just budgets, this is just
9 the actuals that we've actually been able to achieve.

10 And so the significance here is that we've had
11 historically had a very comfortable and very large budget for
12 energy efficiency but our ability to deploy that has grown
13 substantially. And part of that was an acceleration to many
14 of our portfolio programs that started back in 2016 as a
15 response to the Aliso Canyon shutdown. And so you can see
16 here a portfolio of residential as well as commercial
17 programs that we continue to provide and we will also be
18 conducting a renewed potential analysis -- a potential study
19 to determine how we can potentially expand our EE targets as
20 well.

21 And finally, here we -- this past several months --
22 last month, we completed a study with SMUD and with SCE on
23 electrification which will result in us incorporating
24 electrification targets in our strategic long-term plan and
25 working with the city of Los Angeles Building and Safety

1 Department to incorporate electrification incentives and
2 codes for our building codes.

3 So with that, I'll take any questions that you may
4 have.

5 VICE CHAIR SCOTT: Great. Thank you. And thank you
6 very much to all of our panelists.

7 Maybe I will start with Commissioner McAllister from
8 afar. Commissioner McAllister, do you have any questions for
9 the panel?

10 COMMISSIONER MCALLISTER: Really, I just wanted to
11 congratulate DWP on the kind of the ramping up of those
12 initiatives on energy efficiency and really want to
13 collaborate however possible and appropriate on the demand
14 response side that you brought up. I think that has a lot of
15 potential as all of you know a big booster.

16 I think we can be doing a lot more sort of targeted
17 demand response and then figuring out how to do that well
18 across the state. So, yeah, no questions for anybody, I
19 might build on some other questions that you all have in the
20 room but for now I'll be listening.

21 VICE CHAIR SCOTT: All right. Sounds good. Let me
22 turn to the dais, Commissioner Rechtschaffen.

23 COMMISSIONER RECHTSCHAFFEN: Rabindra, could you go
24 back and just talk a little bit -- you -- just to go back to
25 the Mesa Loop-In project. You have a conservative estimate

1 of when that's going to be in service, you don't want to
2 commit to anything before 2022 but I thought I heard you say
3 you're trying to speed up the in service date. So could tell
4 us what you're trying to do to get that online sooner?

5 MR. KIRAN: Sure. So I talked to the project manager
6 of -- for the Mesa 500 kV project and they're looking at
7 reevaluating the bids for the upcoming phases of the project
8 and to see if there's any synergies there that they can
9 expedite or meet an earlier date. I think that's part of the
10 construction. When I talk -- when say phases, that's part of
11 the construction phases that are happening for the Mesa
12 project. I think we're in Phase 2, there's a Phase 3,
13 Phase 4, and Phase 5. And I think they're going to
14 reevaluate the bids.

15 COMMISSIONER RECHTSCHAFFEN: So is the -- I'm just --
16 I'm trying to figure out what the constraint is. Is it just
17 getting someone to do something more quickly? It's -- you
18 have all the approvals, it's just having the construction
19 completed more timely or what is the limiting factor?

20 MR. KIRAN: Well, I think it's just the delay. I
21 think there was a one-year delay approximately in the
22 licensing phase of the project. And it just pushed out our
23 initial June '21 date to a March '22 date. I think it's just
24 the time it takes for the project to get done. And we are
25 looking to see if we can expedite that.

1 COMMISSIONER RECHTSCHAFFEN: Okay. I had a question
2 for Gene but if anyone -- I don't know if people want to
3 follow up on that.

4 VICE CHAIR SCOTT: Can I do a follow up to Rabi as
5 well.

6 I was, yeah, I was noticing on your last slide in the
7 presentation, the timelines for the three lines that you had
8 mentioned, and they were under two years except for this last
9 one. And so I was also wondering -- trying to get a little
10 bit more insight -- oh, thank you for pulling that up. So
11 the Santa Barbara one, had -- I don't know what is that about
12 18 months or so between construction start and when it went
13 online. And then you're anticipating about year and a
14 quarter for the Moorpark one. And -- but this one started in
15 October 2017 but is all the way out at Q1 2022.

16 And so if you do have some additional information on
17 to provide some granularity on to what is causing the hold up
18 between -- on this one.

19 MR. KIRAN: Sure. The Santa Barbara project, Marty-
20 Pardee -- sorry, the Moorpark Pardee Number 4 line is a
21 pretty simply project. We're just stringing a second circuit
22 on an existing -- already existing transmission line.

23 The Mesa 500 kV substation power is pretty
24 significant. We're building a brand new 500 kV station.
25 We're rebuilding the 230 and the 66 kV racks, so I think

1 that's were a lot of it -- it's a significant project.

2 COMMISSIONER RECHTSCHAFFEN: Thank you.

3 VICE CHAIR SCOTT: Back to Commissioner

4 Rechtschaffen.

5 COMMISSIONER RECHTSCHAFFEN: I was going to ask Gene

6 a question about the Moorpark solicitation. And you

7 explained that your slide show that you had received only an

8 immaterial number of bids from renewable companies and then

9 the gas fired resources fell out through the procurement

10 process and ultimately selected in front of the meter storage

11 and then one behind the meter project. Were there other

12 competitive in front of the meter storage proposals that

13 weren't selected?

14 MR. LEE: There was a lot of in front of the meter

15 storage that was provided and so I guess it depends what you

16 mean by competitive. We were just striving to select the

17 best ones to meet the need. I suppose you could say that

18 there were other competitive ones that had the need been

19 larger, you know, that we would have went ahead and procured

20 as well.

21 COMMISSIONER RECHTSCHAFFEN: That's the question.

22 Were there other viable bids that were close or that would

23 have made it if you -- if the procurement need was greater?

24 MR. LEE: Yes, I would say so.

25 COMMISSIONER RECHTSCHAFFEN: And then could you just

1 remind us how you distinguish resiliency from reliability and
2 what additional need was served by this project?

3 MR. LEE: So the resiliency aspect was really just
4 for the Goleta subarea and the Goleta substation. The
5 reliability requirement is fairly well defined by folks here
6 and by the Commission and by all entities. Resiliency
7 requirement is not as well defined and is specifically not a
8 requirement per se for procurement activities that we do,
9 although it is something of a concern.

10 So strictly by the LCR requirements, the first task
11 was to meet the reliability need in the area. The resiliency
12 need essentially defined by significant outage --
13 transmission outage in the area. Specifically there are two
14 major transmission lines that feed the Goleta substation and
15 if both of those went down, that there would be potentially
16 sustained outage in the Goleta area. It was something that
17 we were targeting and during the optimization and some of the
18 resources that we procure will assist with that resiliency
19 effort but they won't necessarily provide 100 percent
20 resiliency coverage if there was an extended transmission
21 outage at the Goleta substation.

22 COMMISSIONER RECHTSCHAFFEN: Okay.

23 MR. LEE: Okay.

24 VICE CHAIR SCOTT: Mark.

25 MR. ROTHLEDER: Yeah. Jason, two questions. One is

1 as you know, I've adopted the sustainability clean plan. It
2 wasn't clear if it has an effect on the OTC retirement dates
3 and -- or not.

4 And then the second question is, on the PDCI, the DC
5 Intertie, is there progress underway to make that a more
6 flexible scheduling capability so it can actually be
7 responsive to variability and intermittency of resources and
8 load?

9 MR. RONDOU: Yeah, so on the first part of that, I'm
10 not aware of the -- any efforts underway that -- it's
11 possible that there are on the PDCI piece. On the first
12 part -- can you remind me again on the first piece of that?

13 MR. ROTHLEDER: No, it just -- it wasn't clear if --
14 now that you're not doing repowering will --

15 MR. RONDOU: Whether or not the plan actually --

16 MR. ROTHLEDER: Yeah.

17 MR. RONDOU: Yeah. Yeah. So it actually kind of
18 came in two -- two pieces. The first was in February where
19 there was a press event that, you know, had the announcement.
20 And the announcement was that there would be no repowering,
21 there would be no investment in new gas for those units.
22 Subsequent to that in April or I believe late April, the
23 sustainability plan more codified that from the mayor's
24 perspective, meaning specifically what the interim renewable
25 goals were and then subsequent to that there was specifics

1 about, you know, OTC, there were specifics about building
2 electrification, and all of that.

3 The next step for us is to take that into
4 consideration as we do our strategic long-term plan. And
5 again, that would then look at now, from the high level build
6 down, what are those resources and all of that. And
7 typically we do that every single year and we planned to do
8 it this year but given that that news and that information
9 came so recently, we simple don't have the ability to launch
10 complete that this year and actually do a thorough study of
11 all the costs and all the resources that are necessary.

12 And so, we elected to do is move that to the end of
13 next year, combine that with our 100 percent study and
14 release both of those at the same time.

15 So, yeah, the plan did touch on the OTC issue as
16 well.

17 VICE CHAIR SCOTT: Other questions from the dais?
18 Oh, please, go ahead.

19 COMMISSIONER RECHTSCHAFFEN: Jason, the 1700
20 megawatts of renewables that are going to be facilitated by
21 the transmission upgrade or the 1000 that are there now, are
22 they -- is that from California or is that a combination of
23 imported resources and from California?

24 MR. RONDOU: So the short answer is we don't know.
25 We had previously, over the course of the last year conducted

1 a study that looked at about a dozen different cases of
2 repowering from floor repowering of the 1660 megawatts to no
3 repowering. And the two no repowering cases had varying
4 levels of emphasis on transmission and distributed resources.
5 But the bottom line is it took a significant amount of both
6 to be able to replace that 1660 megawatts.

7 The outcome of that again, well -- the details of
8 that would be available at the end of next year, but I can
9 tell you that with all likelihood that the lion share of the
10 utilities scale and local -- I mean, obviously the local
11 would be, you know, California renewables.

12 But there would be a substantial amount of California
13 renewables as well. But the long story short is we don't
14 know, given a rough order of magnitudes, it's probably going
15 to take a couple hundred mega -- couple hundred miles of in
16 basin transmission as well as a couple hundred miles of out
17 of basin transmission. The order of magnitude for local
18 storage is not utility scale but in basin storage is likely
19 between 1000 and 2000 megawatts of local storage -- energy
20 storage.

21 VICE CHAIR SCOTT: Great. Other questions from
22 Commissioner McAllister?

23 COMMISSIONER McALLISTER: This is Commissioner
24 McAllister.

25 VICE CHAIR SCOTT: Oh, go ahead.

1 COMMISSIONER MCALLISTER: Yeah, I have one more
2 question. Actually, you started to talk about it just now,
3 this is for Jason.

4 You mentioned and talked about the out of basin, you
5 know, so the import, the sort of bulk energy import
6 transmission upgrades that you need, you know, Vic-LA and
7 what's coming from out of state. You mentioned also that you
8 would need in basin transmission, you know, I guess
9 presumably to the 231/38 kV system. Have you had long enough
10 to think about what that might look like? I think you just
11 said a couple hundred miles but maybe give us a qualitative
12 view of what that might look like.

13 MR. RONDOU: Yeah. Again, I think the very, very
14 high level challenge that we have is we've got substantial
15 amount of ability to import energy on the northern side of
16 the city of Los Angeles. And a lot of the energy that's
17 provided on the southern side is provided via our
18 Scattergood, Haynes, and Harbor Stations, which again, has
19 the 1600 megawatts of OTC units. And so for the ability for
20 us to continue to balance power for power flow
21 considerations, we need to be able to bring and generate
22 energy on the southern part of the city.

23 And so what that means is, you know, are we going to
24 be able to do all that with distributed resources, you know,
25 a big portion of it will, but to be able to bring energy

1 where we need it in our service territory, it will require a
2 substantial amount of in basin transmission upgrades and
3 potentially new transmission lines.

4 And so, you know, that process obviously comes with a
5 substantial amount of risk and consideration for, you know,
6 the development of transmission lines. And so when you talk
7 about going down the distributed resource side and the
8 transmission side, you really -- we're going to have to go
9 down both of those paths kind of simultaneously and factoring
10 in the likelihood that there will be delays on, you know, all
11 sides of that equation. So substantially more to come on
12 that but at a very high level, that's the background on the
13 need for the in basin transmission.

14 COMMISSIONER MCALLISTER: Thanks. Thanks a lot.

15 MR. TISOPULOS: Just clarification. So you mentioned
16 you are going to be -- you'll have to rely on importation and
17 it's a little bit foggy, we understand that. I was wondering
18 out of curiosity, are these going to be LADWP owned renewable
19 generators or not necessarily or a hybrid mix?

20 MR. RONDOU: Yeah. Historically, we've owned or
21 controlled the vast majority of our resources. The, you
22 know, the growing exception to that is power purchase
23 agreements for utility scale renewables and the reason for
24 that is, you know, the investment tax credit and all the
25 other private sector, you know, tax advantages of doing that.

1 We do typically factor in buyout options to where we
2 could potentially exercise those at, you know, at various
3 dates that are advantageous to us. And we very likely
4 continue -- will continue to see some of that.

5 On the distributed side, that gets a little bit more
6 complicated, right. The opportunity and the necessity for
7 partnerships on the distributed side is going to be
8 substantially higher than it would be for the utility scale.

9 MS. ACEVES: I have a question for both Jason and
10 Gene, have either of you been partnering with either with
11 each other or with the clean power alliance on any joint
12 generation or transmission projects?

13 MR. RONDOU: I am not aware of collaboration for
14 transmission projects. There is that possibility but I'm not
15 aware of any. On generation, I don't think there is, usually
16 when we collaborate or partner on a utility scale generation,
17 it's with other municipal utilities locally in Southern
18 California.

19 It's possible that there is something but I'm not
20 aware of it and I don't think there is.

21 MR. LEE: I'm not aware of it either although Jason
22 seems like a very nice individual and I'd be open to that.

23 MS. ACEVES: There with clean power lines?

24 MR. LEE: No, not to my knowledge?

25 VICE CHAIR SCOTT: All right. Well, I want to say

1 thank you very much to our excellent and informative panel.
2 We are just a few minutes ahead. I only have one blue card
3 here with me and so I was going to check to see, Mr. Nagim,
4 if you are here in the room, would you like to go ahead and
5 make your public comment now? You are also welcome to wait
6 until after the -- until we get to the public comment period
7 at the end of the day.

8 MR. NAGIM: I will wait.

9 VICE CHAIR SCOTT: Okay. All right. Well, so we
10 will then go on our lunch break, please be back promptly at
11 1:00 p.m. sharp. Se you all then. And thank you again to
12 our excellent panel.

13 [Off the record at 11:46 a.m.]

14 [On the record at 1:00 p.m.]

15 VICE CHAIR SCOTT: All right, everybody, it's 1:00.
16 We're going to get going again so please take your seats. We
17 have some excellent panels for this afternoon. Our Panel
18 Number Three is going to be An Update on Reliability and
19 Other Issues Associated with SoCalGas Infrastructure
20 Challenges. And they are here, let me -- we'll start with
21 Simon and get his presentation queued up.

22 MR. BAKER: Good afternoon, Commissioners.

23 VICE CHAIR SCOTT: Welcome back.

24 MR. BAKER: So as we've done in past years, the PUC
25 staff did a look back at the winter to see -- what we saw on

1 the system. And there's a report that we publish that's
2 available on the Energy Commission website as well on our
3 website. So I just wanted to go over some of the main
4 findings of that report.

5 So as we've been saying the pipeline capacity is
6 still a major constraint and was this past winter. We also
7 saw very low temperatures particularly in January and
8 February and early March. Storage inventory was down
9 significantly and most notable the non-Aliso fields were down
10 by 61 percent.

11 We saw receipt point capacity utilization much higher
12 than historically average in the January, February, March
13 periods. And Aliso Canyon had withdrawals on 37 gas days.

14 SoCalGas's demand response program was called 24
15 times and we saw natural gas prices spiking at the SoCal
16 CityGate which happened during maintenance periods and
17 periods of intense cold. And then we also saw the knock-on
18 effects of those gas prices into the electricity markets
19 where those spiked as well as a result.

20 So this slide shows for January and February gas
21 deliveries which is in blue, and gas receipts which is in
22 green, and then gas withdrawals which is in yellow there.
23 And the difference between the deliveries or the send out and
24 the receipts, that's what was met with storage and with line
25 pack. There was actually a period on the system where

1 storage was being utilized and in order to maintain
2 reliability, the system needed to use line pack to meet that
3 demand.

4 Through most of January and February deliveries
5 exceeded receipts and this was of course largely due to the
6 cold weather. Interestingly, the weather models were far off
7 this year and what this does is it causes customers to
8 schedule their gas deliveries perhaps inaccurately causing
9 challenges for the gas operator to maintain its stability of
10 the system.

11 The Natural Gas Institute issued a report that points
12 to climate change as being one of the drivers of the
13 difficulty of forecasting. And there was also a period when
14 the National Weather Service was down due to the federal
15 budget shutdown. It was also one of the coldest winters in
16 history. So the high temperatures didn't reach 70 degrees
17 for 41 consecutive days in downtown Los Angeles, and there
18 were record lows as well in the cities of Woodland Hills,
19 which reached 30 degrees; Burbank, 35 degrees; and Long
20 Beach, 37 degrees.

21 As a result, there was very high demand for gas and
22 that peaked on February the 6th, where peak hourly send out
23 reached 5.7 BCF per day. The chart here shows a comparison
24 of the temperatures this past winter in blue and the
25 historical average in yellow there. And the blue box there

1 shows the February period where the temperatures dropped
2 significantly.

3 It's the high peak hourly send out that causes steep
4 intraday ramping and this really put significant strain on
5 the system and SoCalGas needed to call, what are called
6 operational flow orders for all but one gas day from the
7 period of February 4th to the 23rd.

8 Turning to the storage inventory, looking at the
9 table here, we can see that total storage inventory began in
10 November at 77 and declined over a period of time until March
11 where it reached 38 BCF. SoCalGas has been doing winter
12 technical assessments ahead of the winter and they
13 established a monthly end minimum inventory levels per field.
14 And this became important in managing the gas supply
15 throughout the winter.

16 And SoCalGas was compelled to withdrawal gas from
17 storage on 27 days in January and every day of February. And
18 the chart shows the significant drop in storage inventory
19 levels in particular from the Aliso -- non-Aliso Fields which
20 dropped from 69 percent to 32 percent.

21 Looking at receipt point capacity utilization, we saw
22 a trend to be expected which is as temperature dropped system
23 capacity utilization tended to increase and the converse as
24 well. The blue line shows pipeline capacity utilization, and
25 the yellow line is the temperature.

1 And in January, the average receipt point utilization
2 was 91 percent and February it was 94 percent and this was
3 higher than historical average of 85 percent.

4 So Aliso Canyon was used significantly to get through
5 the winter, it was the longest duration and highest volume of
6 gas withdrawn from the facilities since the October 2015 leak.
7 And as noted earlier, there were withdrawals on 37 gas days
8 resulting in approximately 14 BCF withdrawals. SoCalGas
9 issued its demand response programs and called those 22 times
10 on Aliso withdrawal days and 24 times total.

11 And the contributing factors to the use of the Aliso
12 Canyon facility was the heavy withdrawals from the non-Aliso
13 Fields that occurred in the days prior. This is pursuant to
14 the Aliso withdrawal protocol to use Aliso as a last resort.

15 But as was noted earlier, the gas company was
16 managing the system to minimum inventory level targets for
17 each of the facilities per month. And so there was a point
18 at which they couldn't withdraw any further from -- on Aliso
19 Fields without compromising the system so then they then
20 began to withdraw from Aliso. And all of this was
21 significantly caused by high hourly send out during peak
22 periods in the morning and in the evening.

23 One of the mitigation measures that has been used is
24 voluntary and mandatory curtailment. And so we saw 14
25 voluntary curtailments totaling in 362 hours or 15 days, two

1 curtailment watches where customers were told that they may
2 be required to reduce their gas use if curtailment is issued,
3 that happened do the -- during the two coldest -- the two
4 cold snaps from February the 6th to the 8th and again from the
5 19th to the 21st.

6 There were two mandatory curtailments of electric
7 generation again during those same two cold periods. And at
8 that time, SoCalGas worked with the two balancing areas to
9 curtail some electric generation. The volume of gas
10 curtailed each day is not presented here because it's a
11 confidential figure and overall PUC staff evaluated the
12 impacts of this activity and found that the results are mixed
13 for voluntary curtailments because electric generation is not
14 a significant source of demand during the winter.

15 Looking at natural gas prices during this period in
16 November and December, the first chart here shows that
17 SoCalGas CityGate's prices spiked in -- on November the 15th
18 and then again on December the 3rd and this was due to
19 maintenance that occurred on the Wheeler Ridge zone.

20 And the next chart shows how gas prices again spiked
21 due to cold weather. This was during the February 6th and
22 February 20 cold snaps, and they reached 14 and then 26
23 dollars per MMBTU. We saw this also effect the PG&E system
24 which spiked on February the 6th at 18 dollars for MMBTU.

25 And then this chart shows the effects on electricity

1 prices during the month of February. So this led to the
2 calling of Stage 3 and Stage 4 low operational flow orders by
3 the gas company. Which then got incorporated into the
4 bidding behavior of electric market generators on the CAISO
5 system.

6 So we saw electricity prices peak throughout the
7 state of California, the yellow line shows the SoCalGas
8 CityGate gas prices, and the lime green line is the SoPath15,
9 Southern California electricity market prices and you can see
10 that they coincide and that they spiked during those two cold
11 snap periods in February.

12 So the PUC has been implementing a number of measures
13 to mitigate the reliability and the electricity pricing
14 impacts that we've been seeing as a result. As was noted
15 earlier by Commissioner Randolph, the PUC Safety and
16 Enforcement Division and the Energy Division have been
17 conducting regular oversight on the status of repairs, on
18 Lines 235 and 4000 and others.

19 Another mitigation measure is to potentially modify
20 the penalty structure of the SoCalGas operational flow
21 orders. And a proposed decision has been issued for comment
22 and is up for Commission vote on May the 30th with regard to
23 that. Another measure is to consider modifying the core
24 balancing rules for SoCalGas. Under current rules, core
25 customers balance their gas burn to forecast rather than

1 actual. But now with new automated meter infrastructure,
2 there's the capability to balance to actual. And so the
3 proceeding is considering whether to balance to actual. And
4 this -- if implemented, this may reduce the number of
5 operational flow orders that are called and reduce the system
6 stress.

7 And then finally, potential mitigation measure is to
8 consider revising the Aliso Canyon withdrawal protocol.
9 Again because of the extensive use of storage to meet hourly
10 peaks and steep ramps, which puts strain on the system, a
11 possible revision could be to allow the operational flow
12 order level to trigger Aliso withdrawals and this would be a
13 way -- this may increase system reliability, decrease OFOs,
14 and reduce electric generation curtailment.

15 It's important to clarify however, that this
16 measure -- all these measures that are being here, these are
17 really to address short-term reliability and pricing impact
18 issues, and is in no way determinative of, you know, what the
19 commission might do. For example, in the Aliso Canyon order
20 instituting investigation there which is implementing SB380
21 and to make a determination on the future use of Aliso
22 Canyon.

23 So the longer term questions are being addressed
24 there for the PUC. And that's what I have.

25 VICE CHAIR SCOTT: Great. Thank you. We all --

1 we'll next turn to Lana, Brad, and Glenn, have a joint
2 presentation together.

3 MS. WONG: Good afternoon. Again, this is Lana Wong
4 with the Energy Commission. So the Aliso Canyon summer 2019
5 technical assessment, it's a joint agency assessment.

6 VICE CHAIR SCOTT: Lana, can you wait just one
7 second, let me check that we're still connected on the WebEx,
8 right. Okay.

9 COMMISSIONER MCALLISTER: Yes. We can hear you over
10 here. We're back up.

11 VICE CHAIR SCOTT: Okay. Gosh we're echoing, but I
12 hear it here that we're back up, so I'm sorry to interrupt.
13 Please go ahead, Lana.

14 MS. WONG: Okay. Here we go. So it's a joint agency
15 assessment with the Energy Commission, PUC, California ISO --

16 VICE CHAIR SCOTT: Hold on a one more second, let's
17 see if we can try to get the echo off the system. Wait, did
18 that just work? We just say it, it will manifest itself.
19 Okay. Sorry, third time's the charm, Lana, please go ahead.

20 MS. WONG: Okay. Or is it me? Okay. So again it's
21 a joint agency assessment with the Energy Commission.

22 (WebEx Announcement)

23 MS. WONG: Did we lose them again?

24 VICE CHAIR SCOTT: Let's just take a couple minute
25 pause to make sure the WebEx is there and we'll get going.

1 MS. WONG: Okay.

2 VICE CHAIR SCOTT: Everyone stretch.

3 (Connecting WebEx)

4 VICE CHAIR SCOTT: That's a thumbs up. All right.

5 We have the thumbs up. Thank you for troubleshooting that

6 for us. We do know that it's a joint report.

7 Lana, please go ahead and take it away.

8 MS. WONG: Okay. So I'll be presenting with my

9 colleagues, we've got a single slide presentation, about 24

10 slides and just to let you know we'll be bouncing around a

11 bit between presenters in this presentation, and I'll just

12 let them introduce themselves when it gets to their turn.

13 So this is a seventh in a series of assessments.

14 And, you know, we heard earlier in the opening comments that

15 it's the fifth workshop we've held and it's the fourth summer

16 that we've been here. And the fourth summer workshop. We've

17 convened since the natural gas leak at Aliso Canyon

18 And so in the summer assessment, we are looking at

19 the risk to electric generation or EG given the pipeline

20 outages and restricted operations at Aliso Canyon.

21 And then we're also looking at mitigation measures to

22 reduce that risk. And in Simon's presentation you've heard a

23 few of those. As part of this assessment we do an electric

24 impact analysis where we calculate minimum gas generation

25 required for electricity system. We call this MinGen so you

1 might hear that throughout this presentation. So MinGen it's
2 not a plan to curtail, it's a metric that really is letting
3 folks know this is how large the electric gas system -- how
4 large a curtailment it could withstand and still maintain
5 reliability. Or in other words, it's a level that we need to
6 stay above MinGen, and again, it's not a plan to curtail. So
7 the full summer assessment is listed at the link at the
8 bottom and comments are due June 6th.

9

10 So the assessment covers multiple topics and you'll
11 see these as we go through this slide deck. So we'll be
12 looking at an update on the SoCalGas system, the current
13 status of the pipeline outages and projections for return to
14 service dates. We'll also do a quick look back at summer of
15 2018 just to see how we did, but it is not as extensive as
16 the winter look back that Simon presented or, you know, the
17 report that the PUC produced on the winter look back.

18 We'll also look at our ability to meet a one in ten-
19 year electricity peak demand day and whether there's a
20 surplus or shortfall. And so this one in ten-year -- so what
21 does that mean? It's basically looking at the warmest day
22 that you'd expect to see over a ten-year time frame. So we
23 might not see that type of peak this year or next year, but
24 it's something that we plan to. It's a planning criteria.

25 So we'll look at that and we'll look at what I call

1 an adjusted one in ten-year peak demand where we look at
2 okay, if you bring the electric system down to MinGen, what
3 does that do to that peak day demand?

4 Then we'll also take a look at gas balance that was
5 conducted out through December and this is basically to
6 provide a preview of a storage -- a potential storage
7 inventory build-out for next winter. But I want to emphasize
8 that the focus of this assessment is on the summer time
9 period.

10 We'll also look at the new mitigation measures and
11 the one thing that I wanted to point out is that up to this
12 point, we really looked at mitigation measures that were
13 focused on reducing electricity outage risk. But as we've
14 seen, I -- in Simon's presentation and also at a January 11th
15 workshop on natural gas prices, what we've seen is price
16 impacts that these outages have had on the gas and
17 electricity systems. So the mitigation measures, some of
18 them are targeted at trying to mitigate that price risk.

19 And then lastly, we'll hear from the ISO and LADWP on
20 some of the actions they've taken to mitigate risk.

21 Okay. Results. So what we're finding is that the
22 base case results are showing that we have sufficient supply
23 after July 1st but certainly with more outages, generation
24 still faces some curtailment risk. So to walk through this
25 slide, it's a snapshot of our results. The gray area

1 presents the one in ten-year demand that I referenced
2 earlier. So the first row is the one in ten-year demand at
3 3368 million cubic feet a day. And that demand has declined
4 from the demand forecast that we were looking at in our last
5 assessment. So that's one bit of positive news.

6 And then the -- I had mentioned what I had called an
7 adjusted one in ten-year demand, if you bring EG to MinGen
8 and we come up with 2806 million cubic feet a day, peak day
9 demand.

10 And then in the blue body, that's essentially telling
11 us what our supply is, we've got pipeline supply, and we've
12 got withdrawal capability from storage, and we get what we
13 call a projected supported demand or a system capacity
14 number.

15 And the next body, the sort of light gray or white
16 area, that's essentially taking the difference between here's
17 our demand, here's what our supply is, what does that
18 difference really look like? Do we have a shortfall or do we
19 have a surplus?

20 And the columns across are essentially time periods
21 that -- and we'll go through this in a little more detail
22 later in the presentation about the timing of projected
23 return to service dates of pipelines.

24 And so what we could see in the first column is that
25 when we look at our supply and compare it to our one in ten-

1 year peak day demand, we do have a shortfall in the month of
2 June. So that's what's denoted in red.

3 Now, if we take EG down to MinGen, what you'll see is
4 that okay, then the system is okay, and we don't have a
5 shortfall. And so the other columns are just other time
6 periods throughout the summer.

7 And so what's going on in this first month of June is
8 you've heard about the outages and you've heard about
9 Line 235 outage, but there's also maintenance activity that
10 is going on, on the SoCalGas system.

11 And, you know, what Simon mentioned in his
12 presentation, too, is that we've seen some of these price
13 spikes occur because of incremental maintenance events on the
14 system on top of these outages that are already in place.

15 So we identified Wheeler Ridge and so the price
16 spikes from last summer, July, the price spikes that Simon
17 mentioned in November, December, well, there was maintenance
18 going on at Wheeler Ridge on top of that. And it might have
19 only been for a few days. Like it might be an outage event
20 that's a four-day event but it's just enough loss of capacity
21 in that timeframe if it's a tight time period, like in July,
22 we did have a hot weather event during that time period.
23 Well, it could cause prices to spike.

24 But so in this June time frame, there's additional
25 maintenance, hydrostatic testing on Line 2001 in the southern

1 system and that maintenance event goes from March 15th through
2 July 1st. And so what that means it's a loss of an additional
3 350 million cubic a day of pipeline capacity during that time
4 period.

5 So another note about the numbers on this slide is it
6 presumes 100 percent transmission utilization is available
7 and utilized. And so what you could see is that we have a
8 surplus after July 1st and that surplus shrinks and if we go
9 to MinGen and we look at sensitivities at less than 100
10 percent transmission utilization, basically all the way down
11 to 85 percent, we're still okay after July 1st. But it's the
12 June time period that we would still have a shortfall at less
13 than 100 percent utilization on the transmission system.

14 So what does that mean? How do you resolve that
15 shortfall? Use of Aliso Canyon could be used to resolve that
16 shortfall. And so part of the story that you'll hear today
17 is that we may need to use Aliso Canyon this summer and
18 especially if the peak day occurs in June, we may need to use
19 it. Last summer Aliso Canyon wasn't used at all, but
20 depending on when that peak occurs if it's in June, we may
21 see use of it.

22 MR. BAKER: So again, the system remains impaired due
23 to multiple pipeline outages. And just to go back in history
24 a little bit, on October the 1st in 2017, Line 235 ruptured,
25 burning the outside of an excavated section of Line 4000

1 which was immediately -- which is immediately adjacent. Line
2 4000 then returned to service in December of 2017 at reduced
3 pressure and it's been operating at reduced pressure since.

4 The Line 235 repairs are ongoing and they've been
5 challenged by the discovery of new leaks during the repairs.
6 And the last publicly -- published date -- expected date for
7 the return to service of Line 235 was June 22, 2019 as of the
8 kind of date of publishing of this presentation. But I
9 believe that timeline has moved up, we may hear from the gas
10 company on that in their presentation.

11 After Line 235 returns to service, then Line 4000
12 will be removed for remediation. And that line is then
13 projected to return to service August 9th at reduced pressure
14 and then at increased pressure by November the 1st. And I
15 expect we'll be hearing updates from the gas company as well
16 on that.

17 Line 3000 returned to service in September of 2018
18 and it's been operating at reduced pressure. My
19 understanding again is, the gas company can clarify is that
20 that will be coming back online full pressure sometime next
21 year.

22 And Line 2000 has been operating at reduced pressure
23 to 980 -- is that MCF? I'm not familiar with those units?
24 Okay. So this just provides kind of a visual picture. The
25 takeaway is that the overall receipt point capacity has been

1 reduced by 720 MCF. And the kind of X's on the chart, they
2 show you where the, so the yellow X on the right there,
3 that's Line 3000, and the other yellow X is Line 4000, and
4 then the red X is Line 235 which is out, and you can see that
5 the combination of Line 235 and Line 4000 cause a bottleneck
6 on the system.

7 So the northern system is reduced by 720 MCF and this
8 kind of shows the breakdown of the receipt point capacity
9 from both the northern and the southern zones and it
10 illustrates that most of the gas is coming in from the
11 northern zone and the location of the constraint on the
12 system there with the red arrow.

13 So in the summer of 2018, lower demand and a number
14 of operational flow orders that were called helped to limit
15 the number of curtailments that occurred during the summer.
16 It was a warmer summer, actually it was -- it was -- was it
17 warmer or cooler?

18 MS. WONG: Cooler than.

19 MR. BAKER: Cooler than the prior two summers, excuse
20 me, and so the demand did not exceed a 3.2 BCF which is kind
21 of a -- previously identified stress point, a threshold for
22 the system. The gas company did use more low operational
23 flow orders to maintain the system in balance and that's
24 shown in the table there at the bottom where all the various
25 different -- a number of the different mitigation measures

1 are listed out there with notices, and curtailment watches,
2 the flex alert, electric generation local curtailment, and
3 then the low operational flow orders, you can see they went
4 up to 49 in summer of 2018 relative to 26 called in summer of
5 2017.

6 There was only one day where there was a request for
7 voluntary electric generation curtailment, and there were no
8 withdrawals from Aliso Canyon as was mentioned earlier. And
9 the gas company worked closely with CAISO and LAPWD to shift
10 generation whenever possible and use of imports was also key.

11 And as been talked about there were significant gas
12 price spikes on certain days when additional maintenance
13 was -- occurred on certain days at Wheeler Ridge.

14 MS. WONG: So this slide just shows the demand for
15 the prior three summers. So the 2018 is in the black, and so
16 what you could see is that it just was a milder summer than
17 the prior two summers. And when I looked at the data, that
18 Simon mentioned, they're wasn't any day over that 3.2 BCF
19 that was previously identified as a sort of a stress
20 threshold on the gas system. And really there were only five
21 days that were above 2.8 BCF.

22 MR. BAKER: So one thing that's new is some new
23 regulations from the Division of Oil, Gas, and Geothermal
24 Resources that require what's called a shut-in twice a year
25 for testing and inventory verification at gas fields.

1 And the shut-in, the length of it depends on the
2 field size and the characteristics of the field. Honor
3 Rancho was shut-in from April 1st to the 22nd and there was
4 another two-week shut-in that's projected to occur this fall.
5 And the takeaway is that when the facility is shut-in, it's
6 basically closed for any injection or withdrawal activity.

7 Also, the SoCalGas storage integrity management
8 program, again part of the DOGGR regulations. This is
9 requiring conversion to tubing only for flow which impacts
10 the withdrawal and the injection curves. And this has
11 resulted in a lower maximal withdrawal capacity at Honor
12 Rancho.

13 MS. WONG: Okay. So our overall findings for summer
14 2019, that reliability can be met. We have good news and bad
15 news. So on the plus side of things that gas required for
16 MinGen on our one in ten-peak day, is lower. What we've seen
17 is a decline over the last few years. And when I looked at
18 the data, I said, okay, MinGen has declined almost 500
19 million cubic a day since 2017, that's about 25 percent.

20 So in the morning session, you heard about the multi-
21 pronged approach to deal with the unexpected retirement of
22 SONGS and planned retirements of OTC. So when I think about
23 the overall impact those efforts of adding preferred
24 resources and transmission upgrades are coming to fruition
25 and they also help with the gas issues that we're dealing

1 with now. So MinGen is lower because of these transmission
2 upgrades.

3 What I also noticed is that gas demand and
4 electricity demand -- I mention the gas demand of 3.368
5 million cubic -- well, BCF -- BCF day that that is lower than
6 the demand forecast from last year.

7 So on -- the bad news and on the negative side of
8 things is that the pipeline outages continue. So
9 unfortunately the pipeline situation is much the same as it
10 was last summer. We'll go through some of the projections
11 for return to service date but as we begin summer, and
12 through much of the summer, these pipeline outages are
13 expected to continue.

14 In addition to that, there are -- there have been new
15 pipeline leaks detected on Line 235. So that's been
16 unfortunate and has impacted the return to service date. So
17 there've been numerous date slippages on the return to
18 service date. And so some of us, you know, are beginning to
19 wonder is this a new normal. So as I mentioned this is our
20 fourth summer here and we've been dealing with constraints on
21 the gas system over the last four years whether to Aliso
22 Canyon or to these pipeline outages that, is this something
23 that the electric system will need to adapt to?

24 The other thing about this summer is that non-Aliso
25 Canyon storage fields are likely to be lower than last summer

1 at this time.

2 So the end result is that Aliso Canyon may be used
3 this summer as I mentioned, especially if a peak day occurs
4 in June. So we went through some of the numbers, we could
5 have a peak day in the 3.2 BCF range and what that means is
6 that you do need storage withdrawals to meet your demand.

7 And so if the non-Aliso Fields are insufficient to
8 meet the required withdrawal amount, Aliso Canyon will be
9 needed.

10 So MinGen it looks achievable but again it's not
11 recommended and it's just a metric that is something that
12 it's important for the balancing authorities, SoCalGas and
13 just for folks to know what that level that we need to stay
14 above is.

15 And so what we'll probably likely see is continued
16 use of OFOs. You heard Simon mention the metric from last
17 summer. Last summer we saw OFOs increase and they'll likely
18 continue because we're essentially in a similar situation.
19 And then as we look at refilling inventory, the outlook is
20 somewhat uncertain on refilling storage inventory for next
21 winter.

22 So I mentioned the non-Aliso Fields. So we looked at
23 current inventory, it's about 22 BCF as of May 15th and last
24 year we were about 28 BCF. And so what this means is that
25 the lower inventory reduces the withdrawal capacity out of

1 the fields, so if we don't have as much inventory, you won't
2 be able to get as much out. And our gas balance projects
3 that we'll have about 57 BCF by July 1st compared to 62 last
4 summer.

5 So this slide goes through our results and we
6 produced three cases, a base, pessimistic, and optimistic
7 case. And essentially the difference is due to the return to
8 service date of pipelines. And in the end, I mentioned the
9 date slippages and the cases really in the end didn't turn
10 out that much differently. I ended up making adjustments and
11 in the optimistic case, that increasing pressure that Simon
12 mentioned on Line 4000, we potentially could get an
13 incremental 300 million cubic feet a day if that happens.
14 Well, that's not projected to happen until November, so it
15 doesn't impact the summer time period.

16 So we also have the 2018 numbers laid out here but
17 pipeline capacity is in a similar range to last summer except
18 for the month of June where that supply is lower due to that
19 hydrostatic testing.

20 The storage capability identified, it's based on the
21 midpoint between SoCalGas's summer 2019 technical assessment
22 in their best and worst case. And so these numbers, what we
23 say is that, it could be worse with more outages and
24 maintenance. And so when I looked at SoCalGas's maintenance
25 outlook, I saw maintenance scheduled at Wheeler Ridge, Honor

1 Rancho for the summer period so I just said okay, we need to
2 watch for price spikes there.

3 MR. BOUILLON: Good afternoon, Commissioners.

4 My name is Brad Bouillon, I am the director of
5 Regional Operations Policy and Analytics at the California
6 ISO. Thank you for allowing me to speak today.

7 I'll be covering a couple slides and there's some
8 breaks in between, so we'll be handling these transitions
9 back and forth.

10 This first slide discusses the MinGen, the concept of
11 the MinGen, and what the numbers mean. Compared to last
12 year, the MinGen requirement decreased by about 170 MMCF.
13 That result -- that amounts to about a ten percent reduction
14 and a reduction is a good thing. The lower the MinGen
15 requirement is, the lower the gas demand is from our side for
16 electric generation in Southern California.

17 The reduction is related to two improvements, one is
18 synchronous condenser installation and the other one is the
19 transmission line going into service. Those two attributes,
20 while they're unrelated -- they were independent of the topic
21 that we're talking about today, they do result in benefits in
22 this area and that's why you see those numbers being reduced.

23 The MinGen number is the minimum gas needed to meet a
24 one in ten electricity demand, meaning that it's not an
25 annual number, it's a higher number than an annual number, it

1 would be considered like a heatwave, a once in a decade type
2 heatwave-type number.

3 In order to address the minimum generation, we
4 typically have to shift generation outside of this area, or
5 rely on imports. And usually we do a combination of the two.
6 For LADWP side, typically it's imports other option which is
7 bring the energy in from somewhere else.

8 The minimum dispatch departs from economic dispatch.
9 And what that means is that we use software to optimize.
10 When you're looking at a minimum gen number, you're taking
11 often the most economic units that were part of the solution
12 offline because by definition you're already running an
13 optimized solution, and that results in increased costs.

14 It's achievable by a couple of assumptions. One is
15 that electric transmission lines are at full capacity and
16 operating and available, and that replacement units outside
17 of the SoCalGas area have access to gas. Because oftentimes
18 if you have a regional heatwave, it can be sometimes
19 difficult to get gas. And so you have to have units that are
20 able to get the gas to run in place of the SoCal units.

21 We do a MinGen determined by power flow studies which
22 is a study of the system and its capabilities to determine
23 that. And then the historically observed one in ten used for
24 the analysis was based on 2017 at 2 point -- just 2 BCF,
25 approximately.

1 Next slide, please. So back on the MinGen topic and
2 the one in ten. Operating at MinGen means curtailments to
3 electric generation. This is different than Lana's reference
4 on her slide when she said there are no curtailments, I'm
5 assuming she's talking about load curtailments as opposed to
6 electric generation, because we have to reduce electric
7 generation here to save on gas and we have to produce the
8 megawatts somewhere else, either through imports or outside
9 of this area.

10 Again, it results in costs, we talked about that.
11 It's only feasible when the energy supplies are available
12 obviously competing for resources, it's something that we're
13 looking at when we're trying to bring energy into California
14 during the heatwave.

15 And it assumes transmission lines are at service,
16 available, and used. This means that, you know, we don't
17 have any forced outages, because forced outages make the
18 system less than 100 percent available. They are a fact of
19 life, they happen intermittently year round, and that
20 reduction in flow could affect the capability to meet this
21 minimum gen requirement.

22 The table down below is Lana's numbers and looking at
23 it, it parallels her numbers, the item to point out here is
24 that when you look at the one in ten number and the supported
25 demand number for June, you see that you still have a

1 positive number of 229 -- excuse me from the -- for the
2 electrical liability. That 229 is a positive number but it's
3 also assuming 100 percent utilization of the system. And if
4 you had any outages that reduced the efficiency of the system
5 even by ten percent, you could see as a result a challenge in
6 that area. Whereas you have broader flexibility once you get
7 to July 1st and beyond, this typically relates to a constraint
8 because of some gas system maintenance that Lana alerted
9 to -- alluded to earlier.

10 The next slide.

11 MS. WONG: So the gas balance cases. We developed
12 three cases and the difference is the timing of the
13 remediation work. So Line 235, the earlier slide had a
14 projected date of June 22nd but I did look at Envoy and it
15 looked like that date was accelerated to, I think it's
16 June 9th. So Line 235 is expected to return to service
17 June 9th. At that time, Line 4000 will be removed from
18 service. And that switchover won't have any impact on
19 pipeline capacity. It will essentially be the same just a
20 different line in service.

21 And then the base case assumes that Line 4000 returns
22 to service August 9th and you get a little bit more, like a
23 100 million cubic feet a day or maybe under that more when
24 that line returns to service. The pessimistic case assumes
25 Line 4000 remains out of service and doesn't come back. The

1 optimistic case essentially assumes the base case assumption
2 with increased operating pressure on Line 4000 occurring
3 later in the fall, November 1st. And that would have the
4 biggest benefit by adding an incremental 300 million cubic
5 feet a day into the system.

6 And so essentially after using those assumptions and
7 producing the gas balance, we see that we can refill storage
8 inventory to that 80, 81 BCF range by November 1st without
9 violating any parameters. And the ending storage inventory
10 is in the 69 to 81 BCF range at the end of December. The one
11 note, though, is that there's a zero percent reserve margin
12 through September, October. And so what that means is that
13 there's not a lot of flexibility in the system for warmer
14 days or unforeseen problems. So if something happens what it
15 would mean is that you would not be able to inject, so if you
16 had above average temperatures for a month, you wouldn't be
17 able to inject as much as you thought you would and it would
18 mean possibly not reaching that level by November 1st.

19 MR. BAKER: So these action plans have contained
20 mitigation measures in the past and there's 44 of them that
21 have been developed over time. They're included in an
22 attachment in the appendix of the report. Most all of them
23 have been implemented with few exceptions.

24 And so the focus of this report was to really
25 identify seven new measures for this summer. The first and

1 foremost is to get -- is to get the pipelines fixed. And so
2 it's to continue having SoCalGas implement six days per week,
3 12 hours per day work schedules to repair those lines. Also
4 as was mentioned earlier to revise the OFO penalty structure
5 and there's a PD on the PUC commission agenda May 30th to vote
6 on that.

7 Revisions to the withdrawal protocol are also offered
8 as a possible mitigation measure, I was talking about
9 earlier. Also, recently SoCalGas made a modification to its
10 OFO formula within some discretion that is has and this
11 could -- this helped reduced low OFOs. And so the technical
12 assessment offers that SoCaGas should work with parties to
13 the settlement that was involved in that to determine if any
14 further refinements could be made to further reduce the
15 potential for low OFOs. Also, as was done in 2018 through
16 the SoCalGas's second injection plan, look for ways to help
17 customers to use the available pipeline capacity.

18 And then doing research as well into the gas cost and
19 incentive mechanism to determine if there's any interaction
20 between how that mechanism is structured and pipeline
21 utilization, because the goal is to maximize pipeline
22 utilization to the extent possible and the purpose is to
23 understand if there's any connection there and take any
24 appropriate action as a result.

25 And then, finally, to optimize the timing of

1 discretionary maintenance to maximize injections while
2 minimizing peak summer and winter season maintenance. And
3 this would be done through having SoCalGas provide additional
4 information on its maintenance outlooks and whether those
5 maintenance activities are being pursued pursuant to
6 regulatory requirements to bring more transparency to that.
7 Also we recommend considering whether an action plan may be
8 needed for next winter if the pipelines are still not in
9 service.

10 MR. BOUILLON: Moving back to the mitigation measures
11 from CALISOs perspective. The communications between
12 SoCalGas and the ISO have been fairly regular for almost --
13 well, coming up on a decade now. So it's not new, but we've
14 been continually enhancing and improving those aspects of the
15 communication. One of them that we've been working on is
16 sharing the information two days ahead of the operating day.
17 This is based on the estimated or forecasted information
18 which helps give the gas company a heads up of potential
19 trends and usage and challenges.

20 The second one is the ongoing enhancements the day
21 ahead information sharing. The D plus one information
22 sharing is production based, it's actual numbers that show
23 from our day ahead award what it means to the gas system.
24 And we've shared that for quite a while. We've improved
25 granularity and also timing of those reports.

1 Those first two bullets, though, are important
2 because we work with a gas company and determine granularity
3 that matches their systems requirements to help provide as
4 much value as possible. And then beyond that we have ad hoc
5 communications that are proactive as we reach like heatwaves
6 or challenges in the system, we'll talk nightly or early
7 morning typically ahead of the day with the gas company and
8 then we also talk regularly at multiple levels of the
9 organization addressing issues or challenges that we see in
10 advance of them actually happening.

11 We do continue to maintain tools that help manage gas
12 use. The burn constraint is one that we have the ability to
13 actually match our generation to the best extent possible to
14 limitations on the gas system. That is a reliability tool
15 that we use. And then improving the gas index price, that's
16 something that's relatively recent from CALISO to help make
17 generators whole for recognizing their actual cost for
18 procuring the gas over timeframes where you don't have true
19 visibility of the pricing.

20 And then, let's see, dispatching resources that have
21 alternative gas supply. This is the way for us to have the
22 ability to shift the generation which I referred to in a
23 previous slide. And then obviously to use the flex alerts to
24 help reduce overall demand which greatly helps with our
25 flexibility.

1 Looking forward and talking about projects coming up,
2 there are two projects that are scheduled to improve the
3 transmission facilities and strengthen Southern California
4 energy reliability. Those two projects include a study for
5 our compensator installation which is expected at the end of
6 this year so it won't help us this summer but it will help us
7 next summer. And then you've heard lots of discussion on the
8 Mesa Loop-In. That is not slated for a couple years but
9 again, that's another improvement. Both of these items will
10 continue to help us be able to push down the MinGen
11 requirements in this area basically taking the -- helping the
12 gas system to become less stressed and giving us more options
13 electrically to shift the generation around.

14 MR. BARRY: Good afternoon. My name's Glen Barry,
15 I'm the manager of Energy Control Operations for the Los
16 Angeles Department of Water and Power. I'll be presenting
17 the next two slides.

18 First one here is the completed mitigation measures
19 that L.A. has taken and their estimated impacts. These are
20 all measures that have been in place for at least a year or
21 more and we continue to use them.

22 First one, increased electric and gas operational
23 coordination. This improved coordination between utilities
24 has increased L.A.'s situational awareness particular during
25 critical high heat days. We've updated physical gas hedging

1 practice. This provides additional operational flexibility
2 for LADWP in the event of gas curtailments or curtailment
3 watch periods.

4 We have updated our economic dispatch practice on
5 those curtailment or curtailment watch days. This provides
6 additional operational flexibility for us on noneconomic
7 energy purchases reducing reliance on local gas by
8 approximately 1.7 BCF total gas burn.

9 We've also updated our block energy and capacity
10 sales practice which provides additional operational
11 flexibility for L.A. in the event of gas curtailments or
12 curtailment watch periods. And we continue to maintain dual
13 fuel capability at three out of our four in basin plants.
14 That's approximately 1500 megawatts of alternative fuel
15 capability only to be used as a last resort to maintain
16 electric reliability in emergency situations.

17 Next slide. And the next slide here will be
18 facilities we have planned in the near future to lower gas
19 burn, I think Jason Rondou went over some of the longer term
20 plans that there certainly will be more of. But reduction of
21 our minimum gen requirement, we have four in basin 230 kV
22 lines that are scheduled to be reconductored and have a --
23 have their ratings increase which will lower that minimum
24 burn gen.

25 The first two lines are in the process now of being

1 reconductored, expect to have those completed in the winter
2 of 2019, 2020. The second two lines will start immediately
3 after that and those are expected to be completed in the
4 spring of 2021.

5 Additional transmission projects will be determined
6 in the future. And as I think Brad mentioned earlier,
7 transmission projects that will be critical to reducing in
8 basin gas generation and meeting the SB 100 clean energy
9 goals, and we continue to look for ways to reduce our minimum
10 gen requirements.

11 One new renewable generation facility that's coming
12 on just before the summer, has an additional 90 megawatts of
13 utility solar that will be added June 2019.

14 MS. WONG: So our outlook for this summer really
15 comes down to the outages, balancing keeping our supply
16 demand in balance, and weather, even with mitigation measures
17 in place. So our risk to electric generation is similar to
18 last summer except for possibly for the month of June as I
19 mentioned. If we do see a peak day occur in the month of
20 June, it may require withdrawals from Aliso Canyon.
21 Likewise, if there's reduced transmission utilization on the
22 electric or gas system also may require withdrawals from
23 Aliso Canyon. What we'd like to see is the system fully
24 utilized before curtailing generators and you want your
25 demand less than that so-called supported demand or capacity.

1 And we talked about mitigation measures and ways to
2 mitigate reliability and price risk. Well, restoring the
3 pipelines, getting the pipelines back in service is the
4 number one thing and is essential to providing certainty to
5 mitigating price and reliability risk.

6 So next steps, we'll continue monitoring things,
7 we'll look at the mitigation measures that have been
8 proposed, and determine what could move forward. And again,
9 we should consider whether an action plan for winter is
10 needed if the pipelines are still out of service. And
11 comments are due June 6th to the Energy Commission. Thank
12 you.

13 VICE CHAIR SCOTT: Great. Thank you very much. This
14 was very robust information and a well written draft
15 assessment that you all put together that came out just a few
16 days ago.

17 So we're about ten minutes behind time because of the
18 WebEx, so I'm going to see if we have questions here from the
19 dais for folks.

20 Yeah, David go ahead.

21 CHAIR HOCHSCHILD: Yeah, just really quickly. You
22 mentioned going to a 6-day workweek, 12-hour days. What
23 would be sufficient to drive, you know, a decision to work
24 beyond that, longer shifts, or 7-days, I mean.

25 MR. BAKER: Yeah, that's something that we looked at

1 at the PUC. We have Matt Epuna from Safety and Enforcement
2 Division coming up next, perhaps he could speak to that in
3 more depth. But we did investigate that thoroughly with
4 SoCalGas and in essence we found that the safety trade-offs
5 of going to, you know, a seven-day week or, you know, a 24-
6 hour day for the relatively minimal gain was in our
7 determination not worth the trade-off.

8 CHAIR HOCHSCHILD: Okay.

9 VICE CHAIR SCOTT: Other questions?

10 Yes, Laki, please and then Cliff.

11 MR. TISOPULOS: A very robust presentation, so I'm
12 still trying to digest and sift through the [indiscernible]
13 numbers that you presented. The one in ten scenario, does it
14 factor in the cold winter that we experienced this year?

15 MS. WONG: So for this assessment, it's focused on
16 the summer period. So we're looking at a one in ten summer
17 peak day demand where you have EG at its peak. So it flips
18 between summer and winter, so this for -- demand forecast for
19 summer that is used is different than what you would look at
20 in the winter on a one and ten, but --

21 MR. TISOPULOS: Got it. And I'm assuming in that
22 scenario, you are -- there's an assumption that certain
23 fraction of the capacity pipeline capacity is lost due to
24 either maintenance or ruptures, I suppose, you know, the
25 ruptures are the main drivers, versus the temperature swings

1 that we are experiencing. Which one's the main driver, the
2 main contributor to the short fall or the surplus or is there
3 such a thing?

4 MS. WONG: So in the June timeframe that I had
5 referenced, probably the main driver there is the additional
6 maintenance on Line 230 -- 2001 because it's a lose of 350
7 million cubic feet a day. So the risk is, if that peak day
8 occurs in June, that you still have outages and maintenance
9 going on on the gas system during this timeframe.

10 MR. TISOPULOS: Thank you.

11 VICE CHAIR SCOTT: Cliff and then Mark -- oh, I'm
12 sorry.

13 COMMISSIONER RANDOLPH: I just had a question about
14 Wheeler Ridge. You mentioned that there was maintenance last
15 summer and maintenance this summer.

16 MS. WONG: Right, right. And they're short events.
17 So I don't remember the specific maintenance events. So
18 SoCalGas, this is part of an effort to provide more
19 information on its outages. It developed what they call a
20 maintenance outlook, so there's not as much certainty to
21 those dates that are published there, as maintenance on what
22 they call their maintenance schedules. So I just looked at
23 the maintenance outlook and I noticed oh, Wheeler Ridge
24 because we've seen this over last summer and then November,
25 December that these incremental maintenance events on top of

1 these outages already in place can contribute to the price
2 spikes we see.

3 COMMISSIONER RANDOLPH: Okay. So we can ask the
4 company when they come up to see if we can get some more
5 information on that too. Yeah.

6 MS. WONG: Right.

7 COMMISSIONER RECHTSCHAFFEN: Could you go over again
8 what the reason is for the reduced capacity on the non-Aliso
9 storage fields and will those persist to the winter too?

10 MS. WONG: So the -- as Simon mentioned about twice
11 as much inventory was used this past winter as the prior two
12 winters. It was somewhere around 42 BCF used. And in part,
13 the withdrawal protocol in place can contribute to what's
14 left in the remaining fields. So Aliso Canyon is a resource
15 of last resort so when you're initially withdrawing from
16 storage to meet our demand, you're pulling from the other
17 storage fields. So the -- it will draw down those first and
18 leave more gas in Aliso Canyon.

19 But in addition, to that Simon also discussed the
20 shut-in's, Honor Rancho was shut-in for three weeks in April
21 and so during that time period, when SoCalGas was injecting
22 gas in to storage, all of that gas went in to Aliso Canyon
23 during that time period because Honor Rancho was shut-in for
24 the semi-annual shut-in for verification and testing under
25 those new DOGGR rules.

1 So its just currently they're lower, that if you look
2 at okay, where is the gas stored today? It's mostly at Aliso
3 Canyon. So the current numbers that we have about 29 BCF at
4 Aliso Canyon and in the non-Aliso storage fields
5 collectively. It's about 23 BCF. So right now we have more
6 gas at Aliso, which is why if there is a peak day in June,
7 the withdrawal capability out of Aliso is far greater than
8 the other fields.

9 COMMISSIONER RECHTSCHAFFEN: All right. And that
10 answers the other question I was going to ask you. Which is
11 what is the capability is at Aliso right now, given that they
12 were injections in April? I guess, I'll ask the gas company
13 what they're plan is for the remaining six months. I take it
14 that the peak summer season starts pretty soon. So typically
15 injections don't happen during the summer but I don't know if
16 that's universally true or has to be true.

17 MS. WONG: Well, no, the injection season runs from -
18 - in the gas world, April 1st to October 31st that's considered
19 your gas injection season but it will occur mostly in the
20 shoulder season when demand is lower but, you know, then you
21 have these additional DOGGR rules that are going to make
22 refilling inventory more challenging because you have less
23 opportunity for injection.

24 And last year, if we look at when did they fill
25 inventory? Late summer, the weather at the end of August in

1 to September just turned more mild and they were able to
2 inject in that time period. So it really does come down to
3 the weather. So it could happen during -- what you would
4 think is a peak summer month August and they were able to
5 inject.

6 COMMISSIONER RANDOLPH: I have a quick question. Oh,
7 sorry Mark.

8 VICE CHAIR SCOTT: I think Mark then you if that's
9 okay.

10 MR. ROTHLEDER: Yeah. Brad, I think this year and
11 going forward there's a new dyn -- operational dynamic that
12 developing and that's the public safety power shutoffs to the
13 extent they effect transmission. How could that interplay
14 potentially with the MinGen and getting alternative supply?

15 MR. BOUILLON: That's new, yeah, that's new going
16 forward. That would be treated just like an outage so it
17 would actually reduce transmission flexibility potentially
18 impacting the MinGen requirement, because it would restrict
19 our ability, depending on where the lines are taken out of
20 service. It would restrict our ability to flow energy around
21 in lieu of using generation in the L.A. Basin.

22 COMMISSIONER RANDOLPH: On the demand response
23 programs, I know the company is going to do -- talk a little
24 about that in their presentation in the winter look back.
25 But do we have a sense of the numbers sort of, you know, of

1 reduction and demand from that program?

2 MR. BAKER: Yeah. We're going to be getting an
3 evaluation report on the therms savings from the demand
4 response, that's coming in June. So our plan is to have the
5 winter lookback report was published as a draft report
6 because there are a few elements that are going to be added
7 before it gets finalized in third quarter.

8 One of them is the therm savings for demand response
9 and then also, there's an analysis that LADWP did and that
10 CAISO will do as well on what were the incremental cost or
11 price impacts to the electric system.

12 COMMISSIONER RANDOLPH: Thank you.

13 VICE CHAIR SCOTT: Yes. Go ahead.

14 MR. TISOPULOS: One quick question. --

15 VICE CHAIR SCOTT: I think Laki and then Martha.

16 MR. TISOPULOS: So the one in ten scenarios, very
17 conservative scenarios, and a reasonable exercise to go
18 through to test the capabilities of the system. I was
19 wondering in addition to the high temperatures that we have
20 experienced, let's say in this region, does it also factor in
21 any loss in the pipeline capacity in the event other parts of
22 the country are also experiencing heatwaves and they are
23 pulling the gas in one direction and the gas cannot come in
24 this direction. Is that also a variable that is being
25 factored in, is that in those one in ten scenarios?

1 MS. WONG: So the initial assessment is looking at
2 full utilization of the gas system and so we do raise the
3 issue that if there are additional supply constraints due to,
4 you know, the issue you raised or further outages on the
5 system then these numbers would actually be lower. Like if
6 you see a surplus in one time period, well, that surplus
7 would essentially get eaten away by these events.

8 VICE CHAIR SCOTT: We'll do Martha and then a last
9 question from Commissioner McAllister if he has one from the
10 phone, otherwise we'll -- after Martha's question we'll turn
11 to the next panel. Please, go ahead.

12 MS. ACEVES: Thank you. I just was looking about --
13 thinking about last year or maybe it was January in the last
14 workshop where we talked about different mitigation measures.
15 And a couple that were -- or one that wasn't mentioned today,
16 one that was mentioned earlier -- one was having the gas
17 company for core balance to the actuals, and I didn't see
18 that on this particular listing.

19 And then the other is related to kind of your
20 question around may be this is a new normal and that our
21 electric system needs to adjust in a way that hedges more
22 broadly to these gas spikes.

23 And the proposal that Southern California Edison made
24 to have an electric generator tariff where the gas -- the gas
25 -- a gas tariff essentially.

1 And I wonder why that's not listed here or if you
2 guys discussed that?

3 MR. BOUILLON: We're going to tag team on your
4 questions?

5 MS. ACEVES: Okay.

6 MR. BOUILLON: The question on the core balancing,
7 the gas company's up later today so they can talk further to
8 it, but in general, in the winter time core consumes a lot of
9 the gas pipe so it's very important that's probably where the
10 balancing piece came from the previous one.

11 In the summer time you have much less percentage of
12 core in the pipe so it becomes less critical in the balancing
13 as opposed to the electric generation consumption of natural
14 gas.

15 MS. ACEVES: Is anyone going to answer the second
16 part?

17 MS. WONG: Okay. Can you repeat what the second part
18 was?

19 MS. ACEVES: Okay. Well, if Edison is here, they may
20 be able to elaborate on it better, but the proposal that I
21 recall is that because the merchant generators -- electricity
22 generators are looking at gas as an input that just passes
23 through and compounded with the OFO up to the higher
24 electricity prices, that they have no incentive to really
25 kind of forward or hedge as LADWP said on their gas. And, I

1 think the proposal essential from SCE was to have an
2 established allocation and tariff on the gas supply for these
3 merchant generators.

4 MR. BAKER: Yeah, that's right. The proposal was to
5 have basically kind of a gas procurement tariff for electric
6 generation. And that was from the January workshop, I think
7 it was framed as kind of more of a, you know, medium to long-
8 term solution and likely one that would need to be taken up
9 in a rule making activity of some kind at the Public Utility
10 Commission.

11 So for the moment we've been focused on the short-
12 term issues but then when it's commission turns its attention
13 to the longer-term there're are opportunities to be able to
14 bring that issue potential in to a future rule making.

15 VICE CHAIR SCOTT: And let's check on the WebEx, if
16 there is a last question from Andrew.

17 COMMISSIONER MCALLISTER: Yeah. Thanks, it's been a
18 really, really interesting discussion, thanks for all the
19 hard work. I think the tag teaming worked well.

20 I do just want to ask one question about the non-
21 Aliso fields. And it certainly this is -- probably more of a
22 question for SoCal when they come up. But is your collective
23 feeling that we're doing that -- everything we can to get
24 the, you know, squeeze the most juice out of those fields?
25 You know, keep them operating, keep them injectable,

1 withdrawable, is there anything else we could be doing there
2 to help them be all they can be?

3 MS. WONG: So as -- this is probably best addressed
4 with SoCalGas but as I understand it all of the fields are
5 undergoing this storage integrity management plan and that
6 includes Honor Rancho. And I mentioned that the withdrawal
7 curves and the maximum withdrawal capability may be a little
8 different under -- after these fields undergo that conversion
9 to tubing only. That's one of the requirements of the new
10 rules in place.

11 And so I think, you know, again the gas company's
12 probably the best one to answer that but as far as usage
13 goes, you know, these fields are all being used.

14 VICE CHAIR SCOTT: Okay. I know I said that was
15 going to be the last question, but I had one also. I just,
16 Simon in your presentation, at the very beginning you mention
17 that there was a set of mitigation measures and it was kind
18 of a mixed bag in terms of how well they worked. Was it a
19 mixed bag kind of overall, like sometimes a particular
20 measure worked really well, and sometimes it didn't? Or is
21 it -- was it a set of measures that always did work well?

22 MR. BAKER: No. What I was referring to was
23 specifically the electric generation curtailment measures.
24 And based on our assessment that given that kind of cost of
25 that from the, sort of efficiency stand point on the electric

1 system, didn't seem to be gaining that much in terms of
2 actual gas savings.

3 VICE CHAIR SCOTT: Thank you. With that, thank you
4 very much for all of the fantastic information that you have
5 provided to us today. We very much appreciate it. We will
6 transition now to Panel Four which Other Safety and System
7 Operation Perspectives. We're a bit behind time, so I'm
8 hoping we can kind of go about 2:23ish to 3:00 with this
9 panel.

10 As they make their way up, I will remind folks that
11 if you'd like to make a public comment, please fill out one
12 of these blues and get it to either our public advisor or to
13 Heather and she'll get them to me and that's how I know you'd
14 like to make a public comment.

15 So I'll let them get set up and we will go from about
16 -- this a 2:23 here to about 3:00 for this and so please
17 leave us a little time to ask you questions as well. And
18 welcome, we're glad to have you.

19 MR. EPUNA: Good afternoon. My name is Matthewson
20 Epuna. My discussion today and presentation will be based on
21 conversation the CPUC had with our sister agency Energy
22 Commission and I sort of tailored my presentation to address
23 those questions that were raised. So you may see kind of
24 shifting from one topic to another without really any major
25 reason for that. It's basically to address the questions

1 that were raised by CEC.

2 First of all, I would like to speak about -- speak
3 truthfully about the authorities that the commission has and
4 how the origins of those authorities to regulate or have over
5 -- safety oversight over the investor owned utilities in
6 California.

7 The commission under 49C -- 49 USC code 6015 acquired
8 the authority to regulate all investor owned utilities in
9 California through a certification and an agreement with
10 Office of Pipeline Safety and Hazardous Material
11 Administration.

12 That authority also included what we recently
13 received from PHMSA. Authority to regulate -- or rather see
14 -- have safety oversight over municipalities which is the USC
15 -- 49 USC 60106 agreement, gives us that authority to
16 regulate municipalities. By that I simple mean that we have
17 safety oversight but nothing else basically the commission
18 will perform the safety oversight, any findings will be
19 written up and sent to the feds and the fed will do the
20 enforcement. So we have no enforcement authority over the
21 municipalities but just to conduct the safety inspections.

22 And so in light of this the commission referenced
23 these federal code through our general order 112-F, to
24 address all the pertinent parts of the federal regulations
25 which are parts 190, 191, 192, 193 and 199 which talks about

1 drug and alcohol misuse prevention program.

2 So most of you already know that the federal code
3 prescribes minimum safety requirements. In order for minimum
4 safety requirements to address design construction, testing
5 and operation, and maintenance of gathering lines,
6 transmission storage and distribution, and distribution
7 pipeline system. So this many more requirements simply means
8 that each state program or partner can establish a more
9 stringent rule than the minimum federal standard. So as a
10 result the commission has additional standards that we have
11 prescribed for the operators to comply with.

12 In addition to these minimal federal standards, and
13 the commission's requirement, the operators are required to
14 do several things, before I go further, let me just talk
15 about some of the major operators that the commission has
16 jurisdiction. These are the major gas operators that the
17 commission regulates or has safety oversight.

18 One of the questions we had was whether the operators
19 should have replaced Line 235 pipeline when it ruptured or
20 continued to do replacement repair of segments as they find
21 the leaks. And I would like to start off by giving -- or
22 providing some of the facts that we have.

23 On October 1st 2017, Line 235 ruptured at location
24 west of the Newberry Springs. After that rupture, the
25 commission management and engineers met with the operator to

1 discuss the operators action meaning the -- when the rupture
2 happened the operator planned several things, one they
3 commenced or commissioned a root caused analysis which we
4 felt was an essential part of determining the probable cause
5 of that rupture. So their root cause analysis was
6 commissioned, when the result of that root cause analysis
7 came out we requested a copy of it, received it, reviewed it,
8 and then requested a meeting with the operator to discuss
9 some of the findings.

10 And through that, we discussed their approach going
11 forward and that was when the operator informed us that they
12 are looking at various ways of addressing or -- rather
13 enhancing the current system meaning to -- when they received
14 the integrity results, they want to have a better feel and
15 understanding of how to approach it. Obviously, the previous
16 method was not able to detect this particular problem prior
17 to the rupture.

18 Okay. I was just reminded I don't have to much time
19 so I'm just going to go quickly with these.

20 So the operator in order to address this explained to
21 SED of the commission and safety and enforcement division
22 that they leveraged analytics from their vendor, one of the
23 vendors they commission to do study for them, to help them
24 capture some of the essentials of what they need to do to
25 determine whether they need to replace the entire segment or

1 some of the segments and that analysis indicated -- or
2 identified some of the locations that they needed to replace.

3 So I guess the point here is that should you replace
4 the entire segment, or replace some segments, or repair as
5 you find the leaks until having some actual data to help you
6 make that decision and the op -- the contractor, the operator
7 hired looked at various scenarios. One of them was the
8 likely hood of a failure based -- caused by rupture versus if
9 it just failed through leaks only, a small leak.

10 So the op -- the vendor identified six locations that
11 needed to be repaired and they believe that those six
12 locations will cure the integrity issue as well as rupture.

13 The operator completed that -- or was almost --
14 almost at the end of the completion, when they discovered
15 some leaks.

16 And one of the processes that they have to go through
17 to bring a line back in to service after it has gone through
18 a major repair, is to conduct leak survey until that line
19 shows no leak before it can be brought back to service. And
20 during that process, they discovered a leak and those leaks
21 have to be repaired.

22 So these are the -- the slide is showing the six
23 locations that were identified for replacement that the
24 operator replaced.

25 So on March 23rd the operator discovered two leaks

1 during its process to bring the line back in to service and
2 this happened like two days prior to the return to service
3 date. So the operator commenced repair action. As they were
4 working on that, on April 8th they discovered two additional
5 leaks. And they completed those -- those have been
6 completed.

7 And then -- okay. Then on April 19th during a gas
8 leak survey the operator detected leak five on the pipeline
9 and as they detected leak five and they decided that in order
10 to help expedite the process, they were going to divide the
11 pipeline in to three segments; the middle and the right and
12 the left section, they will pressure -- they're working on
13 the middle section, so they will pressurize the left side and
14 the right side, bring it up to the pressure that it's
15 supposed to operate. Because the leaks tend to -- seem to
16 have concentrated, this is a map showing where the leaks are,
17 leak one, leak two, three and four appear to concentrate in
18 the middle section. So rather than wait till after they
19 complete that and ramp up pressure on all the lines, they
20 decided to ramp up pressure on the left-side and the right-
21 side while they work on the middle section.

22 During that period, both left and right sides -- they
23 surveyed those and did not find any leak, however, as time
24 went on a leak appeared on the right-side which is leak five
25 and then another leak appeared on the right-side. So on the

1 total they have seven leaks and they've -- and they're
2 working on those and the return to service date is projected
3 to be sometime June 8th.

4 So commission throughout this process has had an
5 oversight on this remediation activities. And these are some
6 of the issues that we discuss with some of the data request
7 that we sent to the operator to help us understand what they
8 are doing and I must indicate that the commission, some of
9 the commission's oversight it's weekly inspection, in other
10 words we have our engineers at the site weekly and some time
11 some of those inspections are unannounced.

12 So one of the questions, data requests we sent was
13 what matrix and project management did SoCal use in measuring
14 its progress against the time line of it's Line 235
15 remediation schedule?

16 And the second question provide basis for your
17 current in service estimate? What are the conditions,
18 factors that may contribute to remediation schedule delays?

19 They -- most important one that we brought up to them
20 as well as actually raised by two commissioners that are
21 sitting here, Commissioner Guzman-Aceves, and Commissioner
22 Randolph, was for them to conduct an assessment -- risk
23 assessment and analysis of the impact on the return to
24 service date if work schedule is increased to 7/12 or 7/24
25 meaning 7 hours or rather 12 hours every 7 days a week or 24

1 hours 7 days.

2 So the operator provided response to SED on these
3 questions and at the end determined that 12 hours 7 days a
4 week was the appropriate, that was appropriate way to go and
5 prevent accident or injury.

6 And these are other CPUC oversight work that we work
7 that we've done. The commission has been exercising
8 oversight for this process and then had multiple times we
9 meet with the operator do discuss various issues, both the
10 root cause analysis, and the structural integrity analysis.

11 And then the operator adopted that 12 hours, SoCalGas
12 completed the replacement sections, that part it's done,
13 except the three leaks that are remaining.

14 CPUC engineers maintain and continue weekly field
15 safety assurance activities on the repair -- both on the
16 replacement work and the repair work.

17 In addition to that, we have a standing weekly, CPUC
18 has a standing weekly reliability meeting to help us
19 understand and stay up to date on this remediation activity.

20 Commissioners again, Commissioner Guzman-Aceves, and
21 Randolph have been highly concerned about the reliability
22 impact of Line 235 outage and has requested and received
23 frequent updates on Line 235 remediation.

24 Our commissioners question the amount of resources
25 and work hours the operator has devoted to this remediation.

1 CPUC engineers and management have constantly
2 discussed the steps and processes expedite the remediation
3 activities with SoCalGas. And we current -- CPUC currently
4 has a weekly standing conference call with SoCalGas to also
5 understand the real -- reliability updates and other issues
6 that may create reliability issues.

7 The question about repair -- why is the repairs
8 taking so long? In my opinion, I think SoCalGas is best
9 suited to this question. However, I would talk in general
10 about repairing a pipeline defect that will depend on vary --
11 on varying factors such as type of the defect and
12 geographical location of that defect, cause and size of that
13 defect, and weather condition, and environmental issues, and
14 availability qualified work force.

15 The other question that I did receive was, why are
16 other federal mandated requirements or maintenance
17 requirements that may impact reliability? And there are some
18 I -- this is just a few of them, one thing to keep in mind is
19 that the federal regulation prescribes minimum safety
20 standard.

21 Okay. That minimum safety standard, the operator,
22 it's required to exceed that meaning have a best practice
23 that it exceeds the minimum safety requirement. So one of
24 the things the operator is required to do is provide a
25 written procedure that will guide how they operate and

1 maintain the system. And that written procedure the operator
2 can specify some of the activities that they deem best
3 practice which will exceed the minimum -- the prescribed
4 regulatory standard. And we will hold them to that standard
5 that they've prescribed, meaning if they said that's what
6 they will do, we hold them to making sure that they are in
7 compliance with that.

8 VICE CHAIR SCOTT: So I just want to do a quick time
9 check. We're about 20 minutes in to a 40 minute and we got
10 another presentation, so if you could may be gives us about
11 two more minutes and then we'll switch to our other
12 presentation and I know my fellow folks on the dais will
13 probably have some questions as well.

14 MR. EPUNA: Okay.

15 VICE CHAIR SCOTT: Thank you.

16 MR. EPUNA: I will wrap it up. Okay. Amongst this
17 there are some discretionary maintenance activities the
18 operators are required to do. Before I say that one of the
19 mandatory maintenance requirement that they must perform is
20 the commissions pipeline safety enhancement rule that says
21 that every operator that has a transmission pipeline -- or
22 intrastate pipeline -- transmission pipeline that does not
23 have traceable or verifiable and complete record must either
24 test or replace that transmission line and then he has to
25 perform other functions.

1 One of the issues we were asked to address was the
2 permitting issues that one I would just specifically say that
3 pipelines run through various areas, one it's environmentally
4 sensitive lands, federal lands, and endangered species
5 habitat and these are regulated by certain federal and state
6 agencies. And in order to perform work in it you must obtain
7 proper permits to do so. Thank you.

8 VICE CHAIR SCOTT: Thank you. Next is Rod.

9 MR. WALKER: All right. That's the end, we don't
10 want the end yet, we want the, yeah. Well, good afternoon.
11 My name is Rod Walker. I'm the CEO and President of Rod
12 Walker and Associates Management Consultancy in a technical
13 advisory firm based near Atlanta Georgia. You probably
14 couldn't tell that I'm from the south by the way I talk, but
15 I will try to speed up a little bit I know we are constrained
16 on time.

17 I'm -- appreciate the opportunity today to speak to
18 you on the very important subject of reliability. My
19 presentation, the one I was asked to put together is to look
20 at reliability not only in Southern California but across the
21 nation. I've been very blessed to be apart of a lot of
22 different exercises in activities throughout the country in
23 my few years in the natural gas business and I have a
24 perspective on that as well as some best practices.

25 And then some other tidbits from my other work with

1 jurisdiction, other state commissions throughout the country
2 to come up with a list of potential options or ideas to
3 consider and I'll say this now and I want to say it at the
4 end when we get to the options. The options are meant to be
5 a list of things to think about and questions they're not
6 questioning.

7 I have done 50 some due diligent assessments of
8 utilities across the country in my experience. And so my
9 natural view is to try and figure out where the obvious
10 questions that need to be raised. So I want to say that now,
11 because I believe everyone in this room, you know, this is a
12 family event, and we're all trying our best to be --provide
13 reliable, safe, economical natural gas service to
14 Californians.

15 Real quick on my background, I am -- I've had
16 basically 34 years and I know I look younger than that, in
17 the natural gas industry, 17 of that in industry and 17 in
18 consulting. I worked in a variety of engineering operations
19 and management roles at Atlanta Gas Light Company, some of
20 you may have heard of Atlanta Gas Light Company a large
21 natural gas company based in Atlanta which is now part of
22 Southern Company Gas. I also worked for two small municipal
23 systems. In consulting, I mentioned due diligence, I've done
24 a significant amount of due diligence and risk assessments as
25 part of working for other large indust -- consulting firms,

1 Black & Veatch, R.W. Beck that come to mind before starting
2 my own business a couple years ago.

3 I've been involved in California for a better part of
4 ten years. I was part of the initial Aliso Canyon
5 independent review team working with the Los Alamos labs to
6 review the assessments that were presented today for
7 technical work in hydraulic modeling that SoCalGas had done.

8 So I'm familiar with the SoCal system and I think
9 energy situation in California from that work as well as two
10 other projects with storage, with the report right on the
11 CCST, storage report that came out last year.

12 And I'm now currently and have been involved with the
13 California Energy Commission supporting the hydraulic
14 modeling project which is a very exciting project. It's the
15 first in the country where a planning agency like the CEC is
16 actually working collaboratively with the two largest
17 utilities in the state to model the natural gas backbone.

18 And then lastly, I'm an expert witness for the State
19 of Rhode Island, have been involved in not only their
20 reliability what they call their ISR, rate for reliability
21 annual analysis but also, the -- if -- we'll talk about it in
22 a little bit, if you read the news, there was an outage of
23 about 7 to 10,000 customers in Rhode Island and so I'm on the
24 team that's leading the investigation of that outage as well
25 as another event due to aging infrastructure.

1 My background is varied. I'm an engineer, civil
2 engineer from Clemson University. I've done a lot of system
3 design planning, modeling, replacements, but also have a
4 significant amount of management responsibility so I
5 understand both sides of the business.

6 So a little bit of an overview on reliability. Some
7 of this you will already know and have been touch on by other
8 speakers but reliability is not mandated or regulated nor
9 tracked to the natural gas industry unlike the electric
10 industry to some degree -- or electric brethren and sisteren
11 are very much held accountable for liability matrix, safety
12 sadie, all those type things. Where the natural gas industry
13 has largely never had that kind of matrix to live up to.

14 So in essence it's left up to each gas company to
15 plan and implement their own improvements to ensure
16 reliable -- liability natural gas system, or the system to
17 the customers to make sure that basically the gas stays in
18 the pipe.

19 The trends in the country, our country show a wide
20 disparity of reliability in this country. And when I say
21 that, I mean, in terms of primarily aging leak prone
22 infrastructure which is typically the cause of a lot of our
23 reliability issues.

24 So obviously we're talking about SoCalGas and their
25 issues with their critical infrastructure being out of

1 service for a long period of time. I alluded to the issues
2 in Rhode Island with National Grid. They had significant
3 customer outages that were caused by aging leak prone pipes
4 and other issues in that led to the outage of 7 to 10,000
5 customer, which is very unusual.

6 And then on the other hand you have Enbridge that had
7 a major pipeline back in service within several weeks and
8 other projects. Colonial had a -- has had several gas line -
9 - gasoline breaks in Alabama, they were put back together
10 within a week or two and obviously we've -- you heard there
11 were OFO or Operational Flow Orders, but we've seen a lot
12 more of those in peak times and some of it is because of
13 reliability issues not necessarily because of weather which
14 is typical in previous times.

15 So I'm going to skip through this, my friend Matt has
16 gone through some of this but I want to touch on a couple
17 things that I think are very germane to our discussion.
18 Integrity management is set of regulations that came out dur
19 -- after the San Bruno incident, planning remediation work
20 the gas utilities have been doing or should have been doing
21 since the early 2000s.

22 And so that means initial baseline of the
23 transmission system for every utility should have been done
24 right after those regs came in to place if they hadn't been
25 done already. And they have to be reassessed every seven

1 years.

2 We've talked about pigging and that sort of thing and
3 then what's, you know, defined the issues with the pipeline.
4 Basically, the operator has to find the threats on their
5 pipeline and do the appropriate investigation of what they
6 think is cause in potential leaks. And in the case of
7 intelligent pigging those tools find a lot of the anomalies
8 in the things that cause the leaks.

9 Planning and modeling just really quick, hydraulic
10 modeling is used to check the system's ability to provide
11 enough gas during those types of events when you're having to
12 take pipes in and out of service.

13 But also, the trend in the gas industry is to go more
14 to an asset management approach. So that you're looking more
15 the end of life not just a matter if a pipe's leaking or not.
16 And so that is a view specifically because if you're doing a
17 replacing program you -- sometimes at some point may never
18 catchup from an age perspective. If you're looking at your
19 worst offenders, you may not get to the ones that -- behind -
20 - or behind the worst offenders and so you have this rolling
21 need to keep replacing pipe. So there's been more of a view
22 of taking a holistic approach to get rid of larger sections
23 of pipe that were put in at the same time.

24 California and it's specifically is different than
25 the rest of the country in terms of its gas system. The

1 pipeline companies own pipelines and storage in most states
2 in this country, in other words you have a Williams Transco
3 or you have a Transwestern or an Enbridge that owns the
4 transmission and the storage facilities and the gas
5 distribution company, like Atlanta Gas Light, where I use to
6 work, owns the gas distribution system. In this state the
7 gas companies own all of it so they're responsible for
8 pipeline, transmission, storage, and distribution which is a
9 lot on one plate.

10 I will not walk through the issues because they've
11 been talked about several times but there are a number of
12 obvious issues with infrastructure here in California.

13 I think the general gist I want to convey is they're
14 old pipelines that are -- they have leaking, they're leaking,
15 they're aging and reaching what seems to be end of their
16 useful life and it's not just one or a couple but it's
17 noticeable that there are fairly strong number 235, 400 --
18 4000, 3000, 2000, 2001 and so on, which are critical
19 infrastructure in the state.

20 In general there's not as -- not redundancy you would
21 see in a transmission pipeline company's portfolio where they
22 have two redundant pipelines of same volume where they can --
23 if one is down, they can take it out of service and continue
24 and you'd never know that you're impacted because they have
25 redundancy.

1 You have some instances of that with 235 and 4000
2 here but largely you only have one pipe in most cases or in
3 the case of 235 and 4000 they both have issues. So it's hard
4 for one to be the backbone when the other one is down. So
5 that is -- these are points to bring to mind that are
6 different here.

7 Okay. So these are the points to consider, these are
8 questions again, these are ideas. This is me a consultant
9 and an industry person who's been involved in a number of
10 projects and has actually been here as just a -- understand
11 what's going on. And frankly a lot of this is from public
12 data, so I always say, I may not have the story completely
13 correct because I'm going from the data that I have.

14 But just, you know, what comes to mind why these
15 issues with the pipelines, they seem to have just popped up
16 in the last three to five years, and may be I'm
17 misunderstanding that, I have to Aliso Canyon leak but
18 specifically with integrity management in the requirements
19 that I just talked about that started in the 2000's most
20 operators should know the oper -- the condition of their
21 pipes and have a plan to repair and replace. And so in
22 general just curious what the plan has been all along for
23 these pipelines that are now causing issues.

24 And on inspection tools, were not used in 2010 and
25 again I may have that wrong, but they've been available for a

1 number of years and just curious to when they first started
2 their baseline assessments and initial evaluations of this
3 critical infrastructure what they found in terms of their
4 results.

5 What's been stated already, a couple times taking too
6 long to bring back in to service, national average is weeks
7 and months not years for similar repair issues. Again,
8 obviously lots of issues with any pipeline repair and
9 replacement so there probably are other things that are
10 different and germane but I think the general message from
11 not only myself but others, is that we need to get the
12 pipelines back in to service now.

13 Find the repairs and replacements that are the most
14 critical that have to be done to get the pipes back in to
15 service at the highest pressure and capacity possible. If
16 it's going to be too much of a danger to do an uprating and
17 have to keep doing leak surveys and then find other leaks and
18 issues, separate the pipe to get to the highest pressure and
19 volume that could be used, I would suggest, you know, trying
20 to find a happy medium so that you can get the key pipelines
21 back in to service now.

22 Validation digs, had this discussion previously in
23 discussions before here that validation digs for everybody,
24 when you do an intelligent pig run, you get basically it's
25 like having an ultrasound, you have a report that has

1 pictures of the pipeline and someone has to read that and
2 tell you what the problems are. Those reports take 6 months,
3 3 months, 2 to 3 months to get the final report back.

4 So what a lot of operators are starting to try to do
5 so they don't avoid getting in to the winter season and
6 having to take pipelines out of service is get at least some
7 since of the problems with the pipeline from the informal
8 report that the pipeline pigging company gives you in 30
9 days.

10 So one suggestion is especially with 235, 4000
11 conundrum is try and do something with 4000 as soon as you
12 can so that you're not going to get in to the winter season
13 and continue, as I think Lana mentioned go to the winter
14 season or close to it with that pipeline being out of
15 service.

16 Permitting conditions this is a general statement if
17 you can accept them more quickly and especially on the
18 environmental side essentially decide that you're going to
19 mitigate and move forward that's a one way to speed up the
20 project.

21 And lastly, to some degree however we can hold the
22 gas company accountable for a definite back in service date,
23 I mean that carefully and politely and as nice as possible
24 that -- I know everybody's trying but what is the real date
25 that we can expect to get the pipeline back in service?

1 I think that's a reasonable thing to ask and I think
2 the subject, the discussions are already started on weekly
3 reports and weekly meetings to understand a little better
4 more intuitively what's going on in terms of a weekly
5 schedule just to see what can be done to help them mitigate
6 the issues. It could be that, like I said, this is a family
7 event, there's something in this realm that someone can do to
8 help mitigate whatever the issue is.

9 One -- from other jurisdictions and when I worked in
10 Atlanta Gas Light, when we had issues with getting pipelines
11 back in service quickly our public service commission took
12 rate pipeline -- pipelines out of the right base until we
13 were active, it was more of a polite message but also
14 particle because if it was out of service in their mind it
15 was not fair to have it in the rate base. That's another
16 mediation option that's being -- basically being done in
17 other parts of the country.

18 Inject LNG from Coastal Azul, I think this one is not
19 as much of -- really is not viable from what I have now
20 understood, the general idea was if you inject LNG in to help
21 supply the San Diego area, then the gas that is coming from
22 some of the major pipelines to serve San Diego you could
23 bypass and move straight to the Basin. But 2000 -- in 2001
24 those pipelines have issues and so there's really not a
25 benefit from doing that so I think this one is probably not

1 germane.

2 Reliability focus should be on the pipelines, not the
3 Aliso Canyon storage field, I think in some ways, it is
4 masked infrastructure issues in the past because you've not
5 really had to -- you had to rely -- you had the storage field
6 there to, you know, to inject and help when there are issues
7 and now you may or may not have that storage field. So it's
8 time to really think about what needs to be done with the
9 backbone in general. It's not just the couple lines I
10 mentioned but there are others that potential have problems.

11 And then just thinking out loud, does the state have
12 the staff to adequately ensure SoCalGas can meet obligations
13 to provide reliable, safe and economical natural gas service
14 in California. I mean, in general just being involved with
15 other jurisdictions when things happen they have to step back
16 and evaluate because it is a lot of work to keep up and when
17 you have the two -- some of two largest events in the natural
18 gas events with the San Bruno and Aliso Canyon, it just takes
19 a significant amount of different resources and frankly a lot
20 of technology resources as you may not have had previously.
21 So just a thought to consider, do you have the correct staff,
22 and do you, you know, do you need to augment that?

23 Jurisdiction I worked with in Rhode Island after the
24 Merrimac Valley incident in Massachusetts where there was
25 over pressurization of a pipe that killed one person and was

1 very tragic, kind of said, oh, we probably need to pay
2 attention, they have, in Rhode Island the largest amount of
3 cast iron in the country and so they've hired staff, they
4 brought in several experts like myself and others just to
5 help backfill. And so I'm not saying there's a right or
6 wrong answer, just saying it may be good to take a look.

7 And then the last one I want to leave with you is
8 something that other states are doing. And this is meant to
9 be a help not to be a -- when you said audit, it sounds
10 negative, but it's essentially meant to be a tool that will
11 help all stakeholders in the room to understand what's going
12 on and specifically to help identify what's working and
13 what's -- what areas may need improvement in the gas company
14 themselves.

15 This is a practice that's done in Pennsylvania,
16 they've done it for a number of years and I've actually been
17 a part of a team that's helped the utility to respond to that
18 and in frankly a lot of it stuff they are already doing but
19 it does help to gel the plan moving forward and it ties
20 together what -- the work that say Matt is doing and others
21 are doing on different parts of what is called regulatory and
22 some of a broader base holistic view of the utility itself.
23 And frankly just to help be transparent so that we can all
24 understand what are you dealing with and what can we do to
25 help. So I did this as quick as I could, it's 3:00 so with

1 that, that's my presentation.

2 VICE CHAIR SCOTT: All right. Thank you very much.

3 Let's see if we have questions here on the dais. Yes,

4 please.

5 CHAIR HOCHSCHILD: I just wondered if you could

6 comment on the pace of the repairs that, you know, with 235

7 and the others that we've been talking about here. I mean,

8 it does seem disappointingly slow and I'm just curious,

9 you've seen in other states, is this typical? Does this seem

10 -- just -- how do we stack up to other states on this?

11 MR. WALKER: Well, any time you say two years, it

12 does sound like a long time and I think my general view from

13 the limited information I have is that I think you have two

14 things going on, you're trying -- and I'm -- the gas company

15 folks can correct me if I'm wrong but you're trying to repair

16 and replace the initially what happened and then you've had

17 to reduce pressure in other parts -- in the pipeline as well,

18 so you're having to not only fix the problem but then you

19 have to go through an uprating procedure where you have to do

20 leak surveys after every time you raise the pressure.

21 And so when you do that typically, especially in old

22 pipe, you're going to find things and so it sounds like

23 that's been a little bit of a cycle. And so I think that's

24 my -- one of my recommendation was to try to find the happy

25 medium of getting it to a place you can just say it's good

1 for now. I think in general 235 if you saw Matt's drawing
2 with the dots on it, it may be a candidate for some sort of
3 replacement like Line 3000 or parts of it. So do you want to
4 have that discussion, or you've had some discussions already
5 but do you want to, at some point go, you know, what is the
6 end game and how to we make sure this lasts ten years.

7 But the long answer to say, it seems long.

8 VICE CHAIR SCOTT: Other questions? Go ahead,
9 Martha, yes, please.

10 MS. ACEVES: Sure. Yeah. And I guess what would be
11 good to compare may be apples to apples as in scenarios where
12 other rebuilds have so many environmental constraints like
13 the protection of the tortoise.

14 MR. WALKER: Yes. [indiscernible] tortoise. Yes.

15 MS. ACEVES: But did I understand you correctly right
16 now, that you're suggesting to allow some minimal leakage and
17 while operating? No. I'm sorry.

18 MR. WALKER: No, no, no. Leaks are not good. That
19 was more of what pressure do you want to run the pipeline at
20 because the higher the pressure it's going to expand the pipe
21 and there's going to be leaks if there --

22 MS. ACEVES: I see.

23 MR. WALKER: -- there may not be leaks at certain
24 pressures, lower pressures, but the higher you go, it's just
25 going to, you know, squeeze it out. So I know that's what

1 the team probably is doing. They're trying to evaluate that,
2 I have, you know, but it's getting to a stopping point so
3 that you say, I've upgraded it as much as I can, it's good
4 for now, lets get it back in service especially if you need
5 to look at the other pipeline which is 4000.

6 MS. ACEVES: So is that to say that you think some of
7 these subsequent leaks or whatever you want to call them,
8 were as a result as too much pressure coming in to quickly?

9 MR. WALKER: No, ma'am. I think, what -- and again,
10 I'm going from what I'm reading so my assumption is they were
11 raising the pressure to get it back to its normal operating,
12 you know, pressure. And so when you do that leaks will show
13 up. The leaks at a lower pressure may or may not, they may
14 be -- they're smaller if you notice the -- some of the
15 language they're non-hazardous which means they're smaller so
16 they're not going to show up until you raise the pressure.
17 That's generally what I think is -- but again, I'm --

18 MS. ACEVES: Right. So doesn't that mean that --
19 what I asked the first time, they're not going to show up but
20 there're going to may be there?

21 MR. WALKER: Well, the general thing is it's an old
22 pipe, it's 60 some years old and yes, it's going to have
23 issues.

24 VICE CHAIR SCOTT: Mark, please, go ahead.

25 MR. ROTHLEDER: Is the -- is the problems we're

1 seeing on the pipelines, in your opinion, may be symptomatic
2 of maintenance issues or is it symptomatic of use pattern
3 changes. Are we using the pipelines differently because
4 we're raising lowering pressures in different ways because of
5 the nature of the use of the gas system?

6 MR. WALKER: Without knowing the extent of SoCal's
7 maintenance records, I would be remiss to opine on that. I
8 would say that at some point the pipes are just old. And
9 regardless of how much you've -- you maintain them and it
10 maybe it's the end of life, you know, 70, 75 years for
11 cathodically-protected steel pipeline is kind of a normal
12 range. As far as the raising and lowering, that's probably
13 not a good thing but I don't know that they've done a
14 significant amount of that it's just usually really more of
15 having to lower it to fix the issues and then trying to get
16 it back up to the normal operating pressure.

17 VICE CHAIR SCOTT: A question, kind of a variation
18 on the theme, I think that you're hearing from here and it's
19 when I look at the trends that you presented back on your
20 reliability overview slide and their major pipelines back in
21 service within weeks. Are those similar age and made out of
22 the similar things that we can take that information and
23 compare it with the system here?

24 MR. WALKER: I can get the specifics but the ones to
25 -- I'm specifically talking about is the Enbridge pipeline in

1 Ohio, I want to say and I don't remember it's a 24 or 30 inch
2 --

3 VICE CHAIR SCOTT: Or length.

4 MR. WALKER: -- it's a transmission line and then the
5 two in -- for the Colonial pipeline which I'm familiar
6 because we were out of gas in the south because Colonial
7 pipeline feeds the majority of gasoline to the Southeast. So
8 they had a rupture a year or so ago of a 36 and I'm going
9 from memory and obviously an environmental issue. And we're
10 able to contain it and get, you know, they did whatever they
11 had to do. I think two weeks -- week or two and obviously
12 that one being gasoline got a lot more press and I'm sure
13 they were, you know, motivated to take care of it. And it
14 happened on two lines I want to say, they actually had an
15 explosion very similar to what I think went on 235 but, yes.

16 VICE CHAIR SCOTT: And one other quick question, you
17 mentioned that the running of intelligent pigs is a good best
18 practice. I'm wondering is that a -- how widespread is that
19 as a best practice?

20 MR. WALKER: Well, that's a good question, it's
21 become more of the approach especially if you have pipelines
22 that actually can handle the pigs because the largest issue
23 with not using them is that basically the pipes are either to
24 small or they have the wrong size bends so the pig can't make
25 the turn to be -- not be funny but it can't fit so you'd use

1 whatever method fits the threat.

2 And I believe in the case of these pipelines it's
3 external corrosion which means it's an outside issue it's not
4 an internal issue but the pigs are -- the easiest way to get
5 a lot of data then having to, you know, dig up parts of the
6 pipeline. You do the pig and then you do the validation
7 which confirms or denies that what you saw on the, you know,
8 the report is correct and then you do your -- you know, you
9 do your assessment remediation on that.

10 To one thing to that because it is more popular, one
11 issue I know for the gas company is the scheduling -- the
12 time of those because there -- they have to basically -- they
13 don't have -- they're not going to have their own, these are
14 expensive, so the contract with the company sometimes you
15 have to wait in line and so that could be a problem.

16 VICE CHAIR SCOTT: Reiko.

17 MS. KERR: When you suggested potentially reducing
18 the pressure on the pipes would that necessarily mean an
19 increase use of inventory fields?

20 MR. WALKER: It's all apart of the hydraulic model
21 and why parts and pieces you have to use. At some point as
22 you've heard today you will have to use storage because these
23 are the critical pipelines that feed the L.A. Basin and when
24 they're down there's not too many other choices. So you'll
25 probably more likely have to.

1 MS. KERR: Thank you.

2 MS. ACEVES: Do you have any other examples on
3 accountability or complia -- or measures that other states
4 have used within the family but still keeping --

5 MR. WALKER: Well, that's an inter -- and I hesitated
6 to even use that word because it sounds kind of procolomus
7 but I think was is -- comes down it was more of a
8 collaborative approach to come up with a measure that makes
9 sense and -- agree with what is it that will be an
10 accountability metric. To say, you know, what -- so there's
11 not really a, like a regulation or a set rule that has been
12 I've seen. It's been more of a collaborative, you know, we
13 expect to do this. The one I mentioned about taking a pipe
14 out of rate base was the one that the Georgia commission used
15 against us because we were slow in replacing a lot of our
16 pipes.

17 But a lot of it is more like in Rhode Island, they've
18 set around the table and said, okay, what are you going to
19 do? What can you do? You got 7000 people out of service, a
20 month is not acceptable, what is it going to -- and so they
21 worked out a schedule, collaboratively came up with what date
22 worked and they stuck to it and it was for, you know, the
23 good of making sure that everyone in the community knew that
24 they were, you know, they're on the same page.

25 And so I don't have a real straight answer on that

1 one and again, I hesitate to set it in there because I know
2 that it's not something that has teeth but I think it can be
3 done, I really do. And I think this is a time in California
4 for the folks that are in the room to come together and
5 figure out a way to do it.

6 VICE CHAIR SCOTT: Great and on that note.
7 Matthewson and Rod, thank you so much for your excellent
8 presentations and for being here. We're glad to have you.

9 MR. WALKER: Thank you.

10 VICE CHAIR SCOTT: Let us now turn to Panel 5 as
11 they're making their way down, this is the update from
12 Southern California Gas Company on Summer of 2019 Technology
13 Assessment Demand Response and New Gas Hookups.

14 And while we're doing the transition, I'll just do
15 the reminder again for the blue cards. If you're a member of
16 the public and what to make a comment, please go ahead and
17 fill out the one of the blue cards, give it to our public
18 advisor or to Heather and they'll give it to me and that's
19 how we know that you'd like to speak with us.

20 So welcome come on up. We'll get going in just about
21 30 seconds here, when they're seated, when everyone's seated.

22 Okay. Welcome, so we will start with David and
23 Jennifer. Please take it away. Yes, of course, please go
24 ahead.

25 MR. CHO: Just to do some intros and -- my name is

1 Jimmy Cho, I'm the Chief Operating Officer for SoCalGas and
2 we brought a pretty broad team together here so we can be
3 responsive to your questions and inquiries. Allow just a
4 quick intro. Mr. Neil Navin is our Vice-President of Gas
5 Transmission Storage. Jennifer Walker is our Director of
6 what we call Gas Control but essential when you hear the term
7 system operator, that would be Jennifer's area. And then Dan
8 Rendler runs our Major Customer Programs, which includes
9 energy efficiency and also demand response that we're going
10 to be talking about today. And then David Bisi is actually
11 probably the smartest one of the group here, he's been a
12 long-term system planner on the transmission system.

13 And what we're going to do is actually go through the
14 two presentations but I wanted to just say a few statements,
15 the information that we're going to share today is public.
16 Because these assets are highly market sensitive, we will be
17 limiting our comments and information to what's public and
18 certainly our regulators can request additional data from us
19 and we'll respond but I wanted to put that out there.

20 And also, real quickly, I just want to clarify for
21 your consideration a couple of items shared previously, I do
22 want to make note that the pipeline integrity in San Bruno
23 were not, they're not coupled, pipeline integrity was
24 actually in existence as early as 2003, San Bruno resulted in
25 unfortunately in an incident but also the piece of pipeline

1 safety enhancements.

2 And the company, I believe has been pigging as early
3 as the 2000s and 2005 on this line in particular. The last
4 thing I'll mention is pigging or inline inspection is like
5 any technology that is evolving the way I think about is cell
6 phones where around as early as the 1990's they're around
7 today but they're vastly different.

8 The first generation of pigs were what I call low
9 frequency, low resolution tools and today they're much more
10 sophisticated but these are inferential tools where as more
11 data's collected and confirmed, we make them smarter. So I
12 just wanted to throw that out there before I turn it over.

13 Thank you.

14 VICE CHAIR SCOTT: Thank you and thank you all for
15 being here. You have to turn on your mic, please. Just
16 little button in the front there.

17 MR. BISI: There it is. Good afternoon. My name is
18 Dave Bisi, I'm the Gas Transmission Planning Manager for
19 SoCalGas and SDG&E. And I'm going to talk to you a little
20 bit about the summer outlook for this coming season.

21 Next slide. So SoCalGas looked at a couple bookends
22 for the summer season, what we've turned the best-case
23 scenario and a worst-case scenario and that really had to do
24 with which pipelines were assumed to be in service and at
25 what capacity levels.

1 Under the best-case scenario, we found that we have
2 sufficient receipt capacity to fill our storage fields for
3 the upcoming winter season and be able to meet the forecasted
4 peak summer demand without the use of Aliso Canyon. In terms
5 of send out capacity that worked out to at least 3.5 BCF per
6 day of demand that we could support.

7 Under the worst-case scenario, we would have
8 insufficient receipt capacity to serve both summer customer
9 demand and to fill the storage for preparation for the winter
10 season.

11 We could meet the summer peak day demand with Aliso
12 Canyon, but without Aliso Canyon the capacity falls to about
13 3.0 billion cubic feet per day.

14 Next slide. This is the summer peak day demand
15 forecast it's the same total number that you saw in the CEC's
16 presentation, we're estimating it at about 3.4 billion cubic
17 feet per day. This assumes average summer core demand as
18 well as EG demand from the 2018 California Gas Report. And
19 as I've stated we have sufficient capacity under the best-
20 case to serve about 3.5 billion cubic feet per day, but we
21 fall short under the worst-case scenario without Aliso
22 Canyon.

23 Next slide. So what are these best-case and worst-
24 case that I've been talking about? As you know the existing
25 condition is Line 235 is out of service for repairs and Line

1 4000 is scheduled for outage for validation digs.

2 In the best-case scenario and we're looking at the
3 summer peak period of around August when we expect that peak
4 demand to hit, we would have Line 235 and Line 4000 return to
5 service and operating at a reduce pressure, plus, we would
6 have sufficient gas supply at the Otay Mesa receipt point to
7 fully utilize the southern zone receipt capacity of 1210
8 million cubic feet per day.

9 Under a worst-case scenario, both Line 235 and Line
10 4000 are removed from service, they're unavailable, and we
11 have reduced gas supply available at Otay Mesa reflecting
12 actually historic performance.

13 Next slide. Numerically this is what the two
14 bookends look like. The Blythe system under the best-case
15 scenario is full at 1210 million cubic feet per day, that's
16 dependent upon receiving 230 million cubic feet per day from
17 the Otay Mesa receipt point. North Needles, Topock, and
18 Kramer Junction are both capable of receiving supply of
19 approximately 1.2 billion cubic feet per day. Wheeler Ridge
20 is fully available at 765.

21 Under the worst-case scenario, Blythe still has the
22 capacity to receive 980 million cubic feet per day but Otay
23 Mesa's dropped down to only 150, that's the historical
24 delivery that we've seen.

25 Because Line 235 and Line 4000 are both assumed to be

1 out of service, we have no receipt capacity at North Needles
2 or Topock but that allows us to receive a bit more supply
3 from Kramer Junction because it's not competing for pipeline
4 capacity with those supplies coming from the east. Wheeler
5 Ridge, we still have left at 765.

6 Now, what we've done for both of those cases is
7 recognize that customers don't deliver 100 percent
8 utilization, they don't fill the pipelines up to their
9 maximum capacities consistently. What we've seen
10 historically when we have a lot of receipt capacity, they
11 fill it up to approximately 85 percent. That was the
12 assumption we applied to the best-case, because we're at the
13 3.2 BCF level.

14 However, what we've see recently when we have little
15 receipt capacity or less, receipt capacity we have more
16 frequent OFOs because customers don't have as many choices,
17 they fill those pipelines up to a higher level, so we assumed
18 a 95 percent utilization for that worst-case scenario.

19 On top of that, we've put on the same 70 million a
20 day of supply for California local production that's what
21 they're actually producing at the moment. That give us a
22 range of 2.8 -- 2.5 to 2.8 billion cubic feet per day of
23 supply.

24 Next slide. Now, while we have enough supply, we
25 believe to meet our peak summer demand except for the

1 condition where we have worse-case without Aliso Canyon,
2 that's only one part of the summer operation. The other
3 critical part of summer operation is filling our storage
4 fields, in preparation for the winter season.

5 Under the best-case scenario, we believe that there's
6 enough supply and capacity to fill our storage fields to
7 sufficient levels, to meet -- to be prepared for the winter
8 season.

9 Under the worst-case scenario, however, because we
10 have so little receipt capacity available and there's local
11 summer demand, we're not able to fill our fields to what I
12 feel is an adequate level for the sum -- for the winter
13 season. Even if we assume, we're going to get 95 percent
14 utilization for the entire time through the summer season,
15 that -- we would only increase the November starting
16 inventory point by about 18 BCF, still well short of where
17 we've been in the past winters.

18 Next slide. Retaining and restoring receipt
19 capacity. We have made a 150 million cubic feet per day of
20 supply available at the Kramer Junction receipt point on --
21 as available basis throughout the issues with restoring Line
22 235 and Line 4000 to service.

23 Last summer SoCalGas reached tentative agreements
24 with the Morongo Band of Indians to renew the rights of way
25 for Line 5000 and Line 2000 across the reservation. That

1 preserved a big chunk of receipt capacity on the SoCalGas
2 system.

3 We're also have completed necessary remediation work
4 on Line 3000 to bring it back in to service. And while that
5 currently did not increase the receipt capacity for the
6 Northern zone due to Lines 235's outage and Lines 4000's
7 lowered operating pressure, it did give our customers another
8 supply choice to bring their gas supplies in to the system.

9 And we are working to have both Line 235 and Line
10 4000 in service prior to the winter season in November.

11 Next slide. Our maintenance outlook, I know we've
12 talked about this already today, but SoCalGas is obligated to
13 perform high and low inventory shut-ins now at its two
14 storage fields -- at all its storage fields, all four.

15 The low inventory tend to happen at the start -- at
16 the end of the winter season and the start of the summer
17 season. They take about one to two weeks each, I need to
18 make a correction on the slide there that says two to three
19 weeks, it's actually about one to two weeks each per field.

20 So that's about a month of injection capacity that is
21 lost as you're putting these fields through their low
22 inventory shut-in. That represents about ten percent of the
23 time in the summer season, there's only about 214 days of
24 injection capacity in the formal summer season.

25 We also have ILI, In Line Inspection, required on

1 several major transmission lines which may impact pipeline
2 and storage supplies. We're going to do Line 235 in North
3 Needles and we have posted 11 updates since the year began
4 regarding Line 235.

5 Line 4000 and 4002 south of Cajon Summit pressure
6 limiting station, will be performed in August and September
7 on the northern zone and Line 225 in the Whee -- on our
8 Wheeler Ridge zone system will be performed in June and July.
9 And that could impact supplies from Wheeler and Honor Rancho.

10 Next slide. Maintaining summer energy reliability.
11 SoCalGas will continue to coordinate operations with CALISO
12 and the LADWP as you've heard today. We'll continue to use
13 OFOs and the -- Aliso Canyon consistent with the Aliso Canyon
14 protocol which included curtailment of non-core customer
15 demand. And maintenance will continue to be schedule during
16 periods of low demand except for safety issues or regulatory
17 requirements. Thank you.

18 VICE CHAIR SCOTT: Thank you. We'll let you finish
19 your presentations unless there's burning questions and then
20 we can turn to questions. Okay. Great.

21 MR. RENDLER: Okay. Good afternoon. I'm Dan Rendler
22 for those on the WebEx -- this SoCalGas and today my
23 presentation will have two parts, the discussion on demand
24 response -- gas demand response then also new meter hookups.

25 Can you go to the next slide? So before we jump in

1 to winter demand response, I thought it would be helpful to
2 recognize that the foundation that we feel for demand
3 response is really our energy efficiency programs and so if
4 we look at that as kind of our base effort. We're very
5 pleased to be leading within the state for gas therms saved.

6 And so for the last five years we've saved in
7 excess -- our customers in excess of 148 million therms and
8 just as an example that would be about 345,000 homes for the
9 year, or 167,000 vehicles off the road.

10 And so jumping in to our demand response program, at
11 the direction of the commission and we've started back in
12 2016/17 and you can see there that the first round was really
13 looking at a, what we call the SoCalGas advisory, which was a
14 mass market notification campaign and we started our smart
15 thermostat during January or so of that winter so it's a very
16 kind of front end of it.

17 In 2017/18 we refined a bit, our program particularly
18 the smart thermostat program for demand response and you can
19 see 9200 customers and about 10,000 thermostats and that's
20 because some homes have two thermostats per home for the
21 difference.

22 And then in the 2017/18 winter season, we actually
23 had 13 events called between February 20th and March 2nd.

24 Move forward to 2018/19 last winter season and we
25 continued our smart thermostat load control program, we also

1 had at that time increased our thermostats to 40,000 --
2 40,000 customers, 46,000 thermostats enrolled and during that
3 time period we also had 29 events. So you can see the kind
4 of continuation and increase in number of participants in the
5 program.

6 And then the other thing we had done as well, was in
7 2018 we did a gas water heater control demonstration, so it
8 was done in a lab not in out at an actual site but to look at
9 actually controlling a water heater similar to the way we're
10 doing the furnaces.

11 So this is just a quick snapshot of the program and
12 how it operates. So the first step is really to look at
13 lowering the thermostats by up to four degrees during system
14 stress. So it's a 4 degree window, that window was basically
15 established with in partnership with our thermostat
16 manufacturers and looking at what would be a reasonable
17 amount of adjustment that -- if we adjust it too much people
18 would bypass, you don't adjust it enough does it really help.
19 So and then the DR events last up to four hours, so 9 -- 5:00
20 a.m. to 9:00 a.m. in the morning and or at 6:00 p.m. to 10:00
21 p.m., it's a little bit later slide. I'll note that we've
22 have tested both those morning and afternoon or evening time
23 periods to see, you know, what type of response we would get.

24 And then finally, as far as the incentives go,
25 participants receive a \$50.00 incentive for enrolling and the

1 \$25.00 for remaining in the program through the winter season
2 and that means not, you know, not opting out. So in other
3 words some customers, and I'll show you some statistics in a
4 minute, actually, you know, stay in the program but they can
5 override the thermostat because it's not a fixed set and they
6 are allowed to do that during the program.

7 So program recap and this is specifically for last
8 winter season 2018/19 season. So as we mentioned we had
9 40,000 customers our target was 50,000 and to date we are
10 about 49,000 so we are very close to what we set for target.

11 We talked about the events that were called between
12 January 1st and February 22nd and this is an example. So the
13 morning events what we found and this is from a previous year
14 is that the morning seem to get a better response from
15 customers.

16 And then finally, the load impact results, as Mr.
17 Baker mentioned earlier, were anticipating coming up here in
18 the next month but what I can share is that on average about
19 51 percent of the customers that are on the demand response
20 program actually fully participate in the events and
21 recognizing the significant number of those.

22 Other things to look at are overrides so we had about
23 20 percent that overrode either before or during the event,
24 and then we had about 29 percent that actually -- we didn't -
25 - that never got the signal and that could be because their

1 thermostat wasn't on during that time -- something to that
2 nature.

3 So path forward, I want to acknowledge that there's
4 currently an open proceeding and as a matter of fact there's
5 hearings coming up next week so I'll just touch on the
6 surface, but just wanted to note that we are looking at
7 moving forward. And at the direction of the commission we
8 filed an application back in November and these are the areas
9 that we're looking to identify.

10 And these are pilots and so the idea is to look at
11 expand in to different areas and look at how we might
12 continue to provide tools that may be useful for reliability
13 during times of stress.

14 So the space heating load control pilot just very
15 quickly is looking at enhancing that to also include non-
16 residential operations or non-residential customers as well.
17 And then the water heating load control pilot is looking at
18 taking it from the lab and out working with the manufacturer
19 to -- out actually in to, you know, live examples to look at
20 [indiscernible] control and looking at incentives and
21 structure similar to the space heating.

22 The load reduction pilot is a CNI effort to look at
23 the, you know, commercial industrial side and look at -- to
24 look at programs that they can do from a volunteer basis.

25 And then residential behavior DR pilot is looking

1 just that the behavior residential, see what we might do in
2 the way of like electrification, some of the items that are
3 in the areas that are currently being looked at on the
4 electric side as well.

5 And then we've had a winter notification campaign,
6 you might recognize it as dial it down, if you heard it so
7 we're also looking at how we would continue it with that
8 program as well.

9 So that's the update on our winter demand response.

10 Next section is on New Gas Hookups.

11 And so this is really kind of the framing for the new
12 gas hookups so it, kind of gives you a sense, and I have some
13 slides that provide the actual graphics of this.

14 But I think the important thing to note on this slide
15 is that based on a third parties evaluation, focused
16 specifically -- or more I'll say directly on housing starts,
17 looking at more of the physical area as opposed to permits as
18 well as looking at our historic actual hookups was kind of
19 the framework and the basis for our forecast. And you'll
20 note there that over 95 percent of our customer hookups are
21 residential and the graphs will show this but we're
22 forecasting for our active residential meters the growth rate
23 of a very, you know, small .8 percent per year over the next
24 five years.

25 Also, have a chart on the commercial side that -- the

1 commercial industrial side that shows increase there too and
2 that forecast is based primarily on economic drivers
3 particularly like employment. And that particular forecast
4 for the next five years is shown to be declining at a rate of
5 about .045 per year. And then also just noting that our
6 forecasts are weather normalized.

7 So I know this is bit of an eye chart, and I'll thank
8 who ever turned the years up on end as opposed to sideways,
9 but we wanted to give, like a full picture here of time. And
10 you'll note on there a couple of the double forecast areas,
11 and it's important, this is change in active residential
12 meters, so it's not in volume it's actual meters and looking
13 specifically on the residential side. And this is really
14 graphic representation of what I had mentioned earlier with
15 the .8 increase for five years.

16 The blue is the forecast and -- or excuse me, blue is
17 the actual and red is forecast and you'll note that active
18 meters grew in 2016 by about 34,000, in 17 by 42,000, and
19 then in 2018 by 33, and we're projecting in 2019 about
20 46,000. And just to put that in perspective that's 46,000 of
21 about 5.8 million non-resident -- or residential meters.

22 The next slide here gives some information on volume
23 and again this is new customer usage forecast for 2019 to 21
24 and the difference there is that -- and you'll see this on
25 the next slide that I have as well too, but for new

1 customers, you'll see single family of .0335 MMcf per day.
2 That's about .0447, I think it is roughly for existing homes
3 so newer homes more efficient, both the homes themselves as
4 well as the appliance increase efficiency so we've taken that
5 in to account to -- in the forecast.

6 And so the -- I guess, and kind of in a nutshell
7 here, the increase in forecast for -- on the residential
8 side, it's because of the increase in the number of
9 customers, the hookups, but if you look at this chart it
10 gives the story that over the last several years we've had a
11 very consistent decline in residential use per meter. And we
12 like to acclaim that to a lot of the work that's been done
13 around energy efficiency also the codes and standards and
14 such. So if you look over time in the work -- envelopes of
15 the homes being more efficient as well as the appliances even
16 some awareness of customers and their usages and such.

17 And then this graph, next graph talks about our
18 commercial industrial customers and it basically shares the
19 same information that I had mentioned earlier about the kind
20 of minor decrease in there and you can see it's fairly all
21 over the board historically.

22 And this again is based on a third-party evaluation
23 and looking at employment areas as well too and we've just
24 shown it as kind of a consistent decrease. Just as some
25 information here, in 2017 we had about 85 additional active

1 commercial industrial meters and in 2018 it was a reduction
2 of 447 so various reasons of customers moving out of the
3 area, consolidation of businesses things of that nature as
4 well too.

5 So I think that's my last slide. Thank you.

6 VICE CHAIR SCOTT: All right. Great. Thank you.
7 Let's turn then to questions and I'm going to start on the
8 WebEx with Commissioner McAllister.

9 COMMISSIONER MCALLISTER: Well, lets see. I have a
10 series of que -- can you guys hear me?

11 VICE CHAIR SCOTT: Yes.

12 COMMISSIONER MCALLISTER: Okay, good. Let's see.
13 I'm -- I don't have everything right in front of me but is --
14 who should I direct, sort of pipeline safety questions to?
15 I'm not seeing you guys, so it's a little hard to.

16 MR. NAVIN: This is Neil Navin, you can -- if I can't
17 answer them, I'll defer and answer later but I'll try to make
18 an attempt.

19 COMMISSIONER MCALLISTER: Okay. Great. Okay, Neil.
20 So do you have insight at this point about why Line 235 was
21 in such poor condition?

22 MR. NAVIN: Well, certainly we have been running pigs
23 in that line for some time. We did have a pig run and I
24 don't have the date in front of me, so the long and the short
25 answer, I think is we have been examining that line through--

1 using our ILI technology. We have also recognized that many
2 of the desert lines are in challenging conditions including
3 rocky soil challenges with environmental conditions. So
4 certainly this line has been recognized as a line that
5 requires additional attention.

6 COMMISSIONER MCALLISTER: Was there a third-party
7 hired to advise you about that?

8 MR. NAVIN: Well, certainly part of our -- I'm not
9 responsible for our transmission integrity management program
10 per se but we do actually have, as Mr. Epuna mentioned, we
11 have been engaged with consultants including DNV Integral
12 which was a former CEFER to look at integrity issues more
13 holistically.

14 COMMISSIONER MCALLISTER: You -- sounds like you
15 don't know exactly what they told SoCalGas about the
16 conditions of the line and causes behind it.

17 MR. NAVIN: No. I do know some of the details so.
18 So certainly, DNV was engaged as the consultant to look at
19 the root cause analysis failure. They did identify the
20 failure as being largely attributed to complex corrosion
21 which I think has been mentioned here before. They
22 participated in laying out then -- those results ultimately
23 formed the basis for the repair program that we've been
24 discussing today. So the selection of segments to be
25 addressed. That work was done in -- certainly in discussion

1 with SED, right from the outset.

2 There were two other consultants that were mentioned
3 one was Integral. Integral was used to look at the ILI data,
4 I think, as Mr. Cho mentioned, the ILI data the instrumented
5 data is inferential and provides a guideline for where to
6 look and where to assess. Integral was used to look at the
7 family of anomalies that were identified with the ILI runs
8 and those results were then use in a probabilistic manner to
9 identified areas where we should go and look at replacements.

10 COMMISSIONER MCALLISTER: So PG&E have sections of
11 this line that aren't too far away, is that correct?

12 MR. NAVIN: That I think is a fair statement, yes.

13 COMMISSIONER MCALLISTER: Okay. Have you connected
14 with them or compared notes about, you know, similarities and
15 differences, conditions, and condition of pipe and
16 environmental conditions?

17 MR. NAVIN: You know, I would defer a detailed
18 response to that to our manager of our TEMP program. I know
19 they are in discussions on many issues, that could be one of
20 them. I don't know, myself.

21 COMMISSIONER MCALLISTER: Okay. One more question
22 about this line for now. Could you describe the nature of
23 the additional leaks, you know, we've talked about leaks on
24 Line 235 and what you think might be causing them, you know,
25 is that dragging things out a little bit, it's making things

1 less certain, I guess, what do you know about that? Or what
2 can you say about that?

3 MR. NAVIN: Yeah, certainly. So as mentioned the
4 analysis by both DNV and Integral Engineering, the
5 probabilistic analysis of the anomalies led us to select a
6 number of areas to replace the pipe and that was primarily to
7 address those areas that presented a significant risk of
8 rupture. Having repaired those sections, the normal protocol
9 is to re-pressurize the pipe in a stage manner. And that is
10 to say, bring the pressure up, say a third of the way and
11 then ultimately check the line for leaks.

12 And doing that in a graduated way provides an added
13 measure of safety for those working on the pipeline. As
14 mentioned, we've at this point had seven leaks identified.
15 Each one of -- well, I should say a number of them were
16 identified at different pressure points. First one at a
17 rather low pressure of -- which I don't recall at the moment
18 -- or may not be able to say in public, second one at one of
19 the midpoint pressures and the last one at the higher
20 pressures. So each one of those were identified as we
21 brought the pressure back up to near operating pressure.

22 COMMISSIONER MCALLISTER: So you have to redo that
23 depressurization and re-pressurization sort of -- every time
24 you -- well, my question would be, is it possible that new
25 leaks will happen when you sort of go through this process

1 again after repairing the leaks that you found the first
2 times? This a repetitive process?

3 MR. NAVIN: It certainly is possible, though having
4 found seven at this point, generally the numbers would go
5 down. But, however, as you mentioned we have reduced the
6 pressure on the line to near zero in most sections and at
7 this point once we bring the line and re-pressurize it there
8 is a possibility, we will find additional -- minor leaks that
9 may need to be addressed.

10 COMMISSIONER MCALLISTER: Okay. Let's see. I guess,
11 overall, I guess, I'm wondering how much you spent on the
12 pipeline safety enhancement plan?

13 MR. NAVIN: I don't have the figure for the overall
14 pipeline and safety enhancement plan at hand.

15 MR. CHO: Sorry, Commissioner, are you referring
16 specific to the pipeline safety enhancement plan or this
17 pipeline is -- the PSEP is a separate item I believe.

18 MR. NAVIN: Yeah. May -- I'm sorry, maybe you can
19 rephrase your question. I can certainly hazard -- an answer.

20 COMMISSIONER MCALLISTER: It would just be helpful to
21 know sort of, yeah, how -- at what pace those monies are
22 being expended and sort of what the scale of the effort is.

23 COMMISSIONER RANDOLPH: May be you guys could submit
24 that in comments?

25 MR. CHO: I think we should, yes. Just to clarify,

1 Commissioner, the request I think is for the PSEP -- PSEP
2 itself? That's what I'm hearing?

3 COMMISSIONER MCALLISTER: I'm sorry, I didn't.

4 MR. CHO: For PSEP?

5 COMMISSIONER MCALLISTER: I'm not quit hearing you.

6 MR. CHO: Oh. I just want to clarify is the question
7 for total expenders around PSEP itself?

8 COMMISSIONER MCALLISTER: Yes.

9 MR. CHO: Okay. Well there is a monthly report that
10 is submitted to the commission -- to the CPUC but we will
11 certainly follow up on that.

12 VICE CHAIR SCOTT: Why don't we do a few questions
13 from in the room and Andrew we'll get back to you. Is that
14 okay?

15 COMMISSIONER MCALLISTER: Yeah, that's great. I
16 don't want to monopolize it. Thanks a lot.

17 VICE CHAIR SCOTT: Okay. No, worries, great.
18 Questions in the room?

19 COMMISSIONER RECHTSCHAFFEN: Do you want to take a
20 chance the opportunities to respond to Mr. Walker's challenge
21 or criticism about -- essentially that these are maintenance
22 problems that you should have anticipated long before the
23 Aliso Canyon storage spill that if you had been more
24 proactive in your maintenance activities you would have found
25 these out before now, given the best practices that started

1 as early as 2001, that's how I'm interpreting his challenge
2 or criticism. He couched it without by saying he didn't know
3 exactly your situation but I do want to give you an
4 opportunity to respond to that.

5 MR. CHO: Let me -- this is Jimmy, I'll take the
6 first stab at that. The whole premise and foundational
7 framework for integrity management is continuous improvement.
8 Let me move over, its continuous improvement based on what do
9 we know, what more do we know, and what do we do differently
10 as a result of that. So around this idea of TEMP and I
11 believe all of you are aware there's a seven-year minimum
12 frequency of doing the assessment, as an example on some
13 lines will make a determination that the frequency needs to
14 be tighter -- and as opposed to seven years. And then based
15 on hazards of different areas or soil conditions we may make
16 other determinations as well.

17 So what I want to say is, we are learning, we are
18 getting more information, the tools are getting smarter, and
19 we are improving and enhancing our way of operating and
20 maintaining system. I do not want in any way that to imply
21 that we weren't maintaining because that's not the case at
22 all. The going forward is, we're going to take what's
23 learned and known from the tools that use so far and the RCA
24 from DNV and others, and the idea is to then how do we apply
25 that?

1 COMMISSIONER RECHTSCHAFFEN: Are you already
2 incorporating lessons you've learned from the root cause
3 analysis to modify either PSEP program, what you're
4 identifying as risks in the SMAP analysis, even how you're
5 predicting how quickly these instant repairs can be done.
6 Because it sounds to me like it's sort of a rolling learning
7 curve where you're finding problems with re-pressurizing the
8 system that you weren't anticipating which is why the dates
9 keep getting pushed back further and further in to the
10 future?

11 And I -- and Commissioner Guzman-Aceves asked a
12 question which I don't, which you might want to address too,
13 which is, does the fact that you're finding these problems
14 when you're re-pressurizing the system indicting that --
15 indicate that there are undetected leaks that you just
16 happening to find out because you're re-pressurizing the line
17 but they exist on the system anyway?

18 MR. NAVIN: So that was a very long question.

19 COMMISSIONER RECHTSCHAFFEN: I apologize, since I'm
20 an attorney and you're not suppose to answer, it's a compound
21 question so. So you could object.

22 MR. NAVIN: I will not object. But, I'm an engineer
23 and by training I will hazard a guess, not a guess, I will
24 give you an answer to that. For one thing, I think we are
25 actually learning and changing our practices, you mentioned

1 the PSEP program, Pipeline Safety Enhancement Plan Program, I
2 would say these lessons are more applicable to the
3 transmission integrity management program.

4 In that -- what we've learned from the 235 incident
5 is that a more holistic view, say probabilistic view of both
6 tool performance and accounting for tool performance, these
7 tools themselves have a certain level of discernment in them.
8 And so accounting for that, the limitations as it were, so
9 both the strength and the limitations of the tools and using
10 that in a probabilistic manner to address areas of corrosion
11 or complex corrosion that is absolutely something that we are
12 using going forward as an additional tool to improve and
13 enhance the TEMP program.

14 Your second part of the question as I recall, was
15 related to the leaks, I think you turned them on the line and
16 whether we when re-pressuring the line if we found additional
17 leaks, would that infer that we had not found a leak
18 previously?

19 I think the short answer to that is, no. The longer
20 answer is that there may have been an anomaly that in the
21 second or third pressurization caused the leak ultimately.
22 So as I mentioned in the previous portion of the response, we
23 did use a probabilistic approach to looking at addressing the
24 areas of the line expeditiously as possible rather than say
25 replacing the entire line.

1 And if you could remind me of the last part of your
2 question?

3 COMMISSIONER RECHTSCHAFFEN: Well, it was whether or
4 not your given that what you've been finding as you're re-
5 pressurizing the lines whether or not you're -- it's kind of
6 the confidence you have in the dates you're giving us about
7 when the repairs are going to be complete since you
8 continually missed the targets.

9 MR. NAVIN: Yeah. I would suggest that at this point
10 the purpose of re-pressurizing the lines in stages, is in
11 fact to find any anomalies that may have been unaddressed.
12 So whereas we have seven instances where we found anomalies
13 as part of the re-pressurization those are areas that we can
14 address before putting the line back in to full service.

15 So in that case I would suggest that that is what we
16 would want to do to find them now rather find them later. As
17 we re-pressure the line, there does remain a possibility
18 every time we cycle the line up and down so relax the
19 pressure on the line and then increase the pressure as we
20 increase the line there is the possibility that we'll find
21 other anomalies that become leaks, but they themselves would
22 be addressed as expeditiously as possible.

23 VICE CHAIR SCOTT: Yeah. Commissioner Randolph and
24 then we'll go back to Commissioner McAllister.

25 COMMISSIONER RANDOLPH: I just want to make sure I

1 understand the status of Line 4000. So that has had the in
2 line inspections and you just -- and you need to do the
3 validation digs, then you're going to re-pressurize, and you
4 may end up finding similar leaks as you found in 235, is that
5 the status?

6 MR. NAVIN: So Line 4000 is actually in operation at
7 a reduced pressure so it's slightly different than Line 235
8 in that respect. As mentioned, I think, in the previous
9 presentations, once Line 235 comes back in to service, Line
10 4000 would be reduced in pressure so that we can do
11 validation digs. It was also mentioned that validation digs
12 are often a way to validate the tools performance, so the ILI
13 tools performance by selecting areas to physically look at
14 the outside of the pipe. So to do that we reduced the
15 pressure in the pipe for those working on the pipe.

16 Once that validation is taken place there will be an
17 analysis, which again it was mentioned in previous
18 presenters, and based on that analysis, the intention would
19 be that if the analysis shows a strong correlation then we
20 would increase the pressure based upon what we know about the
21 line at that time.

22 COMMISSIONER RANDOLPH: And do you have permits for
23 those validation digs, yet?

24 MR. NAVIN: Yes. I believe we do. Yes. Thank you.

25 COMMISSIONER RANDOLPH: Okay.

1 VICE CHAIR SCOTT: Back to Commissioner McAllister,
2 and then to Mark, and then to Martha.

3 COMMISSIONER MCALLISTER: Thanks. I wanted to just
4 build on something that Commissioner Rechtschaffen said, what
5 are you doing to speed this work up -- speed the repair work
6 up, I mean, I know there's a process and you have to may be
7 go through -- up to several cycles de and re-pressurization.
8 And there was a question earlier about, you know, hours --
9 hours and crews. I guess, can you just talk about how, you
10 know, you're going to plan to try to hit the dates that
11 you're expressing?

12 MR. NAVIN: Certainly. So again, to go back to some
13 previous presentations, we are working the crews 7 or 6 days
14 a week, 12 hours a day, this is a very narrow right of way,
15 so there are logistical -- significant logistical and
16 environmental considerations that we need to undertake while
17 we're doing the work.

18 At the height of the work we had roughly 250 people
19 in a very narrow area to do work. So there are concerns,
20 there are concerns about working at night, there are safety
21 concerns, there are environmental challenges that we need to
22 be cognizant of including various species of interest.

23 So we are, as I said working extended days, extended
24 weeks, and whenever we can we look for an opportunity to
25 parallel work. So as was mentioned previously, we were doing

1 work on sections while raising the pressure in other sections
2 to look for additional leaks that might need to be addressed.

3 COMMISSIONER RANDOLPH: Can I just add to that as I
4 mentioned in my opening comments my chief of staff, Rachel
5 Peterson went down and visited one of the work sites. And it
6 is in fact a very challenging work corridor and location, so
7 sort of moving equipment in and out and people in and out, is
8 a little -- it's fairly challenging down there. So that part
9 makes sense.

10 And as, you know, Matt mentioned we really kind of
11 pushed the company to say, do you have the maximum number of
12 crews, do you have the maximum numbers of days, and at this
13 point I think I feel pretty confident that they do. They are
14 putting the right amount of resources in the actual work
15 that's going on.

16 VICE CHAIR SCOTT: Mark.

17 MS. WALKER: Hi. It's Jennifer. I just wanted to
18 add that there's also opportunities where we wait for
19 permits, we wait for, you know, the dig alert 811
20 notifications to be done. Where we're prefabbing pipe and
21 we're doing everything we can in the location during the time
22 that we may be waiting for something, you know, like an
23 authorization to begin disturbing earth and what not.

24 So we're definitely utilizing all the different time
25 opportunities we can to mobilize and get things ready to move

1 as fast as we can once we start and we get authorizations.

2 MR. ROTHLEDER: I'm just wondering if you've had
3 opportunity to review Table 8 and 9 of the agency assessment
4 and if you have any disagreements or concerns or updates on
5 either the dates or the volumes? And I realize that you may
6 not be able to answer it right now, but if you can answer in
7 comments that would be helpful.

8 MR. NAVIN: I'll be happy to do that.

9 VICE CHAIR SCOTT: Commissioner Guzman-Aceves and
10 then Laki.

11 MS. ACEVES: You know, it's interesting hearing
12 Commissioner McAllister's line of questions I feel like
13 that's where I was a few months ago and having greater
14 appreciation of what is actually happening and how often
15 folks have been attempting to repair this. I kind of evolved
16 to this place where just thinking about the age of this pipe
17 and really asking and asking you really, when is it -- when
18 are you going to get to the point when you're going to say,
19 the pipe itself or some length of the pipe needs to be
20 replaced or decommissioned.

21 And kind of along the same lines, when is it
22 appropriate, from your perspective to take these costs or
23 certainly take the profit that you're making off of it out of
24 the rate base since it's not really providing that benefit to
25 the rate payers?

1 So those are three questions but really, I feel like
2 worse-case scenario we're going to get another seven leaks
3 because it seems like something might be wrong with this
4 pipe.

5 And let me just add a fourth question. Given your
6 probability analysis that you were mentioning, I assume you
7 look at age as a major one. Are you looking at any populated
8 areas where this particular pipeline is going and have you
9 tested those and making sure that we're not missing an
10 opportunity to be safe here?

11 MR. NAVIN: Okay. I will start with, if I can the
12 populated areas. So the areas of concern, in general, for
13 this pipeline are within the section west of our Newberry
14 compressor station, so as Commissioner Randolph's chief of
15 staff experienced, this is largely in the middle of nowhere,
16 if that's an appropriate term, there's -- there are very few
17 sections if any that have any significant population address
18 close to them.

19 To address the issue of the probabilistic modeling,
20 probabilistic modeling is not based on age, it's based on the
21 condition of the pipe as it's examined. So it really is
22 based on the physical examination of the pipe with the ILI,
23 instrumented runs. So age is a factor in the condition of
24 the pipe, if that makes sense, the problem is --

25 MS. ACEVES: But -- excuse me -- that would be

1 assuming that you have that information for the entire
2 system. So you -- do you --

3 MR. NAVIN: I should -- sorry go ahead.

4 MS. ACEVES: No. So is that right? Am I
5 understanding right?

6 MR. NAVIN: So we do have instrumented ILI runs for
7 this pipeline previously. We do intend, I think, it was also
8 mentioned, to provide after the Line 4000 work was taken
9 place to run another pig run on Line 235 and with that, we
10 would do some additional reviews.

11 As to the issue of rate base, I think, we'll try to
12 respond in comments afterwards, if that's okay? But these
13 are fairly old lines so at this point I don't know if much of
14 any of the existing -- original pipeline is currently in rate
15 base.

16 MS. ACEVES: And just remind me because usually and
17 may be you guys know this question but usually, we allow you
18 about 40 or 50 years of recovery on it. And how old is this
19 pipeline, is it exceeded the life of that?

20 MR. NAVIN: This pipeline is from 1957,
21 predominantly.

22 MS. ACEVES: So it's probably already rece -- it's
23 probably already -- yeah.

24 MR. NAVIN: Yes. I believe so.

25 MS. ACEVES: Okay.

1 MR. NAVIN: I'll defer to Mr. Cho, here.

2 MR. CHO: I wanted to just, after the commissioner's
3 question on, you had asked about other lines. The DOT has
4 classification for lines based on the environment, the
5 density and so on. So in areas that are populated or more
6 populated, the margin of safety that is put in based on the
7 design factor the pipeline is higher.

8 And the other thing that we'll have to make a
9 determination on once these lines go back in to operation.
10 As an operator, we'll have to also determine what is that
11 safety margin we want to have in place. So that will be
12 something we'll also decide.

13 COMMISSIONER RECHTSCHAFFEN: I'm sorry, did you
14 answer, Commissioner Guzman-Aceves question about when do you
15 just decide to replace the lines?

16 MR. CHO: Let me make one -- the lines that make up
17 the backbone system are just under 4000 miles; this is a
18 section of line that is running parallel with -- between
19 North and South Needles in to -- I'll just call it our
20 gatherings -- our center stations the basin. It's, I think
21 over 200 miles from the station along the Colorado River in
22 to those -- the central city center areas. The area that
23 we're looking at is a, I believe it, Neil, it's a specific
24 section and so that -- I wanted to say that because -- what
25 the question is when are you going to replace the line? The

1 line itself -- even though there's different numbers and
2 segments, it is a very long line but the issues have been
3 noted through the pipeline integrity assessments in a
4 particular area.

5 MR. NAVIN: Yes. So to continue with Mr. Cho's
6 response, it is certainly looking at the condition of the
7 line, looking at what we can learn from additional ILI run so
8 additional data. There may be a point in the future of which
9 we would say that replacing the sections that have been
10 currently not replaced would be prudent.

11 VICE CHAIR SCOTT: Laki and then may be a final
12 question from Commissioner McAllister.

13 MR. TISOPULOS: Yeah. So could you comment on the
14 two observations that we heard from Mr. Walker that pipeline
15 integrity issues identified here -- fixing pipeline integrity
16 issues take year -- takes elsewhere, you know, weeks to
17 months to correct versus years here. So is it because you
18 have to deal with more agencies, more permits, that's one
19 question?

20 And the other one is, there was an observation that,
21 I think it was -- I can't remember which exactly state --
22 Rhode Island, if I remember correctly, the dwell pipes
23 scenario -- at -- can you comment on the feasibility,
24 technology versus economic feasibility to have such a thing
25 for this basin?

1 MR. NAVIN: Well, first I'll take the second part of
2 the question and that is, I think, Mr. Walker, did mention
3 that in fact the 235 failure was in a location where there
4 was two pipelines. So that pipeline actually does have a
5 Line 4000 and a Line 235 running quite close to each other.
6 So in fact, that northern segment -- or section from the
7 Needles receipt point is essentially two lines.

8 The other portion of the question which is regard to
9 the time to make the repairs, I think also, Mr. Walker
10 acknowledged that each pipeline situation is somewhat
11 different and unique. In this case, we had a significant
12 failure, that significant failure required a root cause
13 analysis, that root cause analysis was really necessary to
14 understand the nature of the failure. So that when we put
15 the pipeline back in to service, we understood what had taken
16 place.

17 So I will say that that work was done with
18 significant support from the commission through SED and
19 interaction with SED that was very positive during that
20 effort. That effort also led to this probabilistic view of a
21 complex corrosion on this particular segment of the pipeline.
22 That coupled with the challenges of the remote location and
23 other issues have made this a very challenging piece of pipe
24 to replace.

25 VICE CHAIR SCOTT: Commissioner McAllister.

1 COMMISSIONER MCALLISTER: Yeah. Just one more
2 question going back to the non-Aliso fields. Could you give
3 us a status of what's happening at Goleta and Honor Rancho
4 and any obstacles to really -- having those play the role
5 that they need to play, you know, going forward, managing
6 shut-ins and any equipment upgrades you're doing there?

7 MR. NAVIN: Certainly. It's a rather broad answer,
8 but I'll give it nonetheless. So as has been mentioned
9 previously, the new DOGGR regulations require a inventory
10 verification shutdown and that that be -- that take place at
11 every field, and that take place twice a year. That is a
12 change from previous years so it has reduced the availability
13 of the fields for injection and withdrawal but primarily
14 injections, is the issue at hand.

15 The fields at the moment, Honor Rancho went through a
16 -- an inventory shut-in, so that is past for this part of the
17 season in advance of the summer. Our smaller Playa Del Rey
18 field also had an inventory shut-in, so that one is taken
19 place. Our La Goleta field, in fact came off of it's
20 inventory shut-in just today, so as of today that shut-in is
21 complete. I should note though also, that the shut-in also
22 included work that included P - S - E - P work, PSEP work,
23 that was specifically related to the pipelines in and out of
24 that field.

25 So I think it's important to note that a shut-in is

1 important for the DOGGR requirements but it also presents an
2 opportunity for us to do needed maintenance and repair while
3 the facility is out of service for that period of time. So -
4 - go ahead.

5 COMMISSIONER MCALLISTER: I'm hearing that those will
6 be ready for injections for early summer.

7 MR. NAVIN: I should be clear, those fields have been
8 injecting gas to date, save for the periods where they were
9 taken out of service. Typically, to maintain reliability we
10 will take one field out of -- in to a inventory verification
11 condition, one at a time. So that we always have at least
12 three of the fields available.

13 COMMISSIONER RANDOLPH: No. I was just going to --
14 I just want to make sure we have time to take public comment
15 before we have to start catching airplanes. So.

16 VICE CHAIR SCOTT: Indeed. So Commissioner
17 McAllister's was going to be the last question. Was that
18 your last question there?

19 COMMISSIONER MCALLISTER: Yes.

20 VICE CHAIR SCOTT: Okay. If it wasn't, please feel
21 free to ask another one. Okay. I want to say --

22 COMMISSIONER MCALLISTER: No. It actually was.

23 VICE CHAIR SCOTT: Oh. Go ahead.

24 COMMISSIONER MCALLISTER: No. It actually was.

25 VICE CHAIR SCOTT: Okay. Excellent. Well, all

1 right, I want to say thank you very much from SoCalGas. We
2 appreciate you being here. And let us then turn to public
3 comment. I just have two here. The first one is Issam Najm,
4 from the Porter Ranch Neighborhood Council. Let me see where
5 would we like people to go? Oh, right here. And you'll be
6 followed by Sarah Rees. So Sarah, if you don't mind coming a
7 little closer that would be great.

8 MR. NAJM: I'm good?

9 VICE CHAIR SCOTT: Yes. Please, go ahead.

10 MR. NAJM: Good afternoon.

11 VICE CHAIR SCOTT: Good Afternoon.

12 MR. NAJM: Thank you for the time. My name is Issam
13 Najm, I'm the President of the Porter Ranch Neighborhood
14 Council and I'm here speaking on behalf of the Neighborhood
15 Council representing the people of Porter Ranch. I wish none
16 of you knows me, but you do, and I have been engaged in this
17 process now for three years and I'll be blunt in saying, I'm
18 disheartened by the direction it is taking.

19 While this is discussed as an issue of numbers and
20 economics. I want you to please remember that there are
21 peoples lives health and safety behind this whole issue. And
22 I know you know that this is what triggered this thing and
23 that's why we're still talking about it.

24 The problem that I see is that the conversation is
25 not any more about the Aliso, it's about other things in the

1 system that are overshadowing the issue of Aliso, to the
2 point where the CPUC staff is now asking you to change the
3 usage scenarios for Aliso to accommodate the loss of
4 transmission.

5 And I urge you, not to go in that direction. Having
6 the field changes operation based on OFOs is simple a
7 backdoor for the gas company to use it as it sees fit. And I
8 ask you not to consider that mitigation measure at all.

9 In 2017, former Governor Brown, directed the Energy
10 Commission to work towards closure of the facility and
11 coordinate with the PUC to achieve closure in 2027. It is a
12 little difficult for the community to see that neither the
13 CEC nor the PUC has taken a formal position on that
14 directive.

15 Both have been silent on that direction and that
16 directive is critical for us to understand where our future
17 is going to be. So I urge you to take up that directive and,
18 you know, let us have the courage to have an up or down vote
19 on it, but let us hear from you about that directive.
20 Because that directive is the only thing that we are hanging
21 our hopes on.

22 And we will continue to plead with you to get to that
23 implementation of the closure of the facility. And we
24 realize that it's a big part of the gas system as it has been
25 used. And we appreciate that and that's why in all of our

1 communications with you, we have clearly labeled it.

2 We're asking for the expedited and responsible
3 closure of the facility. We understand nobody wants to
4 deprive anybody of their gas supply. The problem that we see
5 and I'm sure you see, that as long as Aliso Canyon option is
6 open, they're will not be an incentive for this company to
7 make it work without it.

8 I urge you to tell them to make it work without it.
9 Set a timeline, they are smart people, they have a lot of
10 resources, certainly more than we do. And I'm confident that
11 they can get to that point, they just enough of incentive to
12 get to that point.

13 And I also want to say something to your staff and I
14 don't know if they're still in the room. This winter was not
15 the worst winter in the last several years and I will give
16 you two numbers, the lowest day average temperature this
17 winter, composite average temperature in the system was 49
18 degrees, that is the highest since 2013. It is not the
19 coldest.

20 The second issue is, which isn't -- a number that we
21 presented in our letter to the commission in March that the
22 heating degree days in this winter were 902, this is the
23 number of degrees below 65 degrees, degree days throughout a
24 winter season and this is from November to February. It's a
25 standard term, the HDD was 902 this past winter. In 2016,

1 2017 it was 1200. In 2015, 2016 it was 1200.

2 This was not a bitter winter, this was a wet winter
3 for us, I can tell you that much, but it was not a bitter
4 cold winter.

5 The problem is not the demand, the problem is
6 transmission and the fact that we're still talking about it
7 after the January session when they told you that it would be
8 done in April. Here we are in May and it's not done, June
9 it's not going to get done. And now we're talking about
10 November.

11 We need you to set a date. The best date to set is
12 the closure of the field and that will drive everything. And
13 I don't have time to get in to everything else that I want to
14 say but I will stop at this. I urge you to recognize that
15 there is a human factor behind this question and we need that
16 closure date from you. Thank you.

17 VICE CHAIR SCOTT: Thank you. Our next comment is
18 from Sarah Rees and she's followed by Gene Lee.

19 MS. REES: Good afternoon. My name is Sarah Rees,
20 I'm an assistant deputy executive officer for Planning here
21 at South Coast Air Quality Management District.

22 First, I'd like to thank both PUC and CEC on their
23 willingness to engage with South Coast AQMD on planning for
24 transportation electrification needs in our region and the
25 opportunities for collaboration that you've provided us to

1 date.

2 As an example of this collaboration, is our work to
3 provide input to the electric transportation demand forecast
4 in the 2019 Integrated Energy Policy Report.

5 I'd like to provide a little context as to why we as
6 an air agency are interested in the issue of transportation
7 electrification. Our region has some of the worst air
8 quality in the nation and we're facing deadlines in 2023 and
9 2031 to meet federal air quality standards. To get there,
10 we'll need to cut our NOx emissions by about a half.

11 The vast majority of our NOx comes from mobile
12 sources and of mobile sources the biggest contributors are
13 heavy duty engines. Substantially reducing emissions from
14 mobile sources will be the key to cleaning our air.

15 Not meeting these standards on time will have
16 significant impacts in our region. Our residents will
17 continue to breath the worst smog in the nation and the
18 federal government could impose sanctions including the
19 potential withdrawal of federal highway funds.

20 To get the needed emission reductions, we expect that
21 zero-emission electric vehicle will need to make up a much
22 larger fraction of our light duty -- of our fleets. Not only
23 our light duty fleets but also our heavy-duty fleets, and
24 off-road engines.

25 One example, based on a rough preliminary estimate

1 that we've done, we can foresee that we might need an excess
2 of 300,000 zero emission vehicles to be able to obtain our
3 standards and have that in our region by 2030.

4 This is well beyond any current electric demand
5 planning scenarios we have seen to date and most of those
6 will be the larger engines not the light duty engines.

7 We also expect that the electric demands on the grid
8 for this large-scale introduction of heavy duty zero emission
9 vehicles may be noticeable different than that of passenger
10 vehicles and is critical to plan for the scale of those
11 demands.

12 We look forward to continuing to engage closely with
13 both your agencies on this critical issue. Our staff stands
14 ready to support you as you continue your planning efforts to
15 ensure that zero emission vehicle needs in our region are
16 met. Thank you.

17 VICE CHAIR SCOTT: Thank you. I have a card from
18 Gene Lee. Are you still in the room? All right. Seeing no
19 additional public comment in the room.

20 Let me turn to see if we have any comment on the
21 WebEx. Okay. I'm seeing that there is no comment on the
22 WebEx either. So with that we will close public comment.

23 I just want to briefly say, thank you to everyone for
24 your patience with us while we had our little WebEx blimp. I
25 want to thank our panelists today for providing robust data

1 and really great information for us to all wrap our heads
2 around.

3 Thanks to my colleagues from our sister agencies for
4 taking the time to be here on the dais with me this is
5 wonderful, and also thank you to Laki for hosting us in your
6 wonderful facilities. We really appreciate it.

7 And I don't know, Commissioner Randolph, do you have
8 any closing remarks.

9 COMMISSIONER RANDOLPH: No.

10 VICE CHAIR SCOTT: Okay.

11 COMMISSIONER RANDOLPH: Thank you very much for
12 running a very efficient and interesting meeting.

13 VICE CHAIR SCOTT: Indeed. And with that we are
14 adjourned. Thanks everybody.

15 (Thereupon, the Hearing was adjourned at
16 3:37 p.m.

17 --oOo--

18

19

20

21

22

23

24

25

REPORTER' S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 3rd day of July, 2019.

A handwritten signature in cursive script that reads "Troy Ray". The signature is written in dark ink and is positioned above a horizontal line.


TROY RAY
CER-369

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 3rd day of July, 2019.



Barbara Little
Certified Transcriber
AAERT No. CET**D-520