

DOCKETED

Docket Number:	19-IEPR-04
Project Title:	Transportation
TN #:	229695
Document Title:	Transcript of 07-18-2019 Staff Workshop Re Clean Transportation Program Benefits Report and Successes for 2019 IEPR
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	9/9/2019 9:09:50 AM
Docketed Date:	9/9/2019

BEFORE THE
CALIFORNIA ENERGY COMMISSION

In the matter of,)
) Docket No. 19-IEPR-04
2019 Integrated Energy Policy)
Report (IEPR))

STAFF WORKSHOP RE:
CLEAN TRANSPORTATION PROGRAM BENEFITS REPORT
AND SUCCESSES FOR 2019 IEPR

WARREN-ALQUIST STATE ENERGY BUILDING
1516 NINTH STREET
1ST FLOOR, ARTHUR ROSENFELD HEARING ROOM
SACRAMENTO, CALIFORNIA 95814

THURSDAY, JULY 18, 2019

10:00 A.M.

Reported By:
Gigi Lastra

APPEARANCES

CEC Staff Present

Larry Rillera, Fuels and Transportation Division

Presenters and Panelists Present

Zero-Emission Vehicle Infrastructure Panel

Moderator - Tim Olson, California Energy Commission

Andy Hoskinson, Center for Sustainable Energy

John Schott, ChargePoint, Inc.

Dana Boudreau, Redwood Coast Energy Authority

Richard Schorske, Electric Vehicle Alliance

Shane Stephens, FirstElement Fuel, Inc.

Zero-Emission Vehicle Technology Panel

Moderator - Ben DeAlba, California Energy Commission

Kent Leacock, Proterra, Inc.

Morgan Caswell, Port of Long Beach

Jannet Malig, Cerritos Community College District

Jasna Tomic, CALSTART

Low-Carbon/Clean Air Projects

Moderator - Elizabeth John, California Energy Commission

Seungbum Ha, South Coast Air Quality Management District

Sarah Gonzales, Pixley Biogas LLC dba Calgren Renewable Fuels

Erin Donnette, World Energy (AltAir Fuels, LLC)

Clean Transportation Program Funding Summary, Benefits Report Summary, and Benefits Report Methodology

Susan Ejlalmaneshan, California Energy Commission

Christopher Neuman, National Renewable Energy Laboratory

APPEARANCES

CALIFORNIA REPORTING, LLC

229 Napa St., Rodeo, California 94572 (510) 313-0610

Public Comments

Jonathan Changus, Center for Sustainable Energy
Jasna Tomic, CALSTART
Steven Brooks, Iwatani Corporation
Steve Wallach, Center for Transportation and the
Environment
Hannah Goldsmith, California Electric Transportation
Coalition
Brian Goldstein, Executive Director, Energy Independence
Now
Bill Elrick, Executive Director, California Fuel Cell
Partnership
Sara Rafalson, Market Development Director, EVgo
Wayne Laity, Business Development Manager, Shell
Hydrogen Company
Stephen Ellis, American Honda Motor Company
Kathryn Garcia, Sierra Club California

INDEX**CALIFORNIA REPORTING, LLC**

229 Napa St., Rodeo, California 94572 (510) 313-0610

	Page
Introduction	
Larry Rillera, California Energy Commission	5
1. Clean Transportation Program Background, Highlights, and Success Stories - Larry Rillera, California Energy Commission	7
2. Panel 1 - Zero-Emission Vehicle Infrastructure	12
3. Panel 2 - Zero-Emission Vehicle Technology	108
4. Panel 3 - Low-Carbon/Clean Air Projects	154
5. Presentation - Clean Transportation Program Funding Summary, Benefits Report Summary, and Benefits Report Methodology	188
Public Comments	208
Closing Comments	213
Adjournment	215
Reporter's Certificate	216
Transcriber's Certificate	217

P R O C E E D I N G S

1
2 JULY 18, 2019 10:00 A.M.

3 MR. RILLERA: Good morning. Welcome to today's
4 staff workshop on the Clean Transportation Benefits
5 Report and Successes for the 2019 Integrated Energy
6 Policy Report, or what I will refer to as the IEPR.

7 My name is Larry Rillera. I'm staff with the
8 Fuels and Transportation Division, here at the Energy
9 Commission.

10 I'll quickly go over a few housekeeping items.
11 Restrooms are located in the atrium behind you, out the
12 door and to the left.

13 If there is an emergency and we need to evacuate
14 the building, please follow staff, me, to the Roosevelt
15 Park, which is diagonal to the Energy Commission
16 building here.

17 Today's workshop is being broadcast through our
18 WebEx conferencing system and parties should be aware
19 that you are being recorded. We'll post the audio
20 recording on the Energy Commission's website in about a
21 week and the written transcript in about a month.

22 I will first be presenting a brief overview of
23 the Clean Transportation Program investments to date,
24 and project successes that will be highlighted today.
25 The presentation provides a foundation for the

1 discussion that will ensue.

2 Participants on three panels will share their
3 projects, highlight project successes, and respond to
4 questions via a panel moderator. The three panels are
5 focused on Clean Transportation Program investments into
6 zero emission vehicle infrastructure, zero emission
7 vehicle technologies, and low carbon projects.

8 At the conclusion of the first panel, we will
9 break for lunch. When we reconvene, we'll have two more
10 panels.

11 The last portion of the workshop will focus on
12 Clean Transportation Program funding, the Benefits
13 Report, and the Benefit Report methodology. This will
14 not be a moderated panel. We will, instead, have
15 presentations by Energy Commission staff and staff from
16 the National Renewable Energy Lab.

17 We will conclude the workshop with public
18 comment.

19 Materials for today's meeting are available on
20 the website and hardcopies are in the back of the room.

21 Written comments on today's topics are due on
22 August 1st. The workshop notice explains the process
23 for submitting your written comments.

24 Finally, I would like to thank all of our
25 participants today for being here, and committing their

1 generous time, and certainly their perspectives to the
2 Energy Commission and the public.

3 With this setting, let's begin. In 2007, the
4 Legislature established the Clean Transportation Program
5 within the Energy Commission. The program is funded
6 through a small surcharge on California vehicle
7 registrations, which provides up to \$100 million per
8 year, depending on how much is collected from the
9 surcharge. The law also requires the Energy Commission
10 to include an evaluation, the Benefits Report, of the
11 program's efforts as part of each biennial IEPR.

12 California Assembly Bill 8, in 2013, extended
13 the program through January 1st of 2024.

14 The program was developed to provide funding
15 support for projects that reduce greenhouse gas
16 emissions within the transportation sector. The funded
17 projects also contribute to other complementary State
18 goals, including approved air quality, promoting
19 economic development, increasing alternative fuel use,
20 and reducing petroleum dependence.

21 The Clean Transportation Program is guided by a
22 range of dynamic policies by the Governor and the
23 Legislature, as noted. A key policy includes Executive
24 Order B-48-18, which reaffirms California's commitment
25 to zero emission vehicles, or ZEVs, as I will refer, and

1 sets a new goal of 5 million ZEVs by 2030. This policy
2 also reaffirms ZEV infrastructure targets for plug-in
3 electric vehicle chargers and hydrogen refueling
4 stations to support this projected growth.

5 To date, the Energy Commission has provided \$830
6 million in Clean Transportation Program funding. By
7 far, the largest investment is in the electric
8 transportation sector.

9 To demonstrate its commitment to diversity, the
10 Energy Commission adopted a resolution during the April
11 2015 Business Meeting to firmly commit to increasing
12 outreach and participation to communities of concern.
13 The Energy Commission is committed to taking steps
14 towards broadening the pool of applicants to the Clean
15 Transportation Program.

16 Clean Transportation Program participation helps
17 to ensure equitable access to Energy Commission funding,
18 creates jobs, and provides economic stimulus in under-
19 represented communities, disadvantaged communities, and
20 to small businesses.

21 Increased competition to ensure the best
22 opportunities are identified and funded and assures that
23 local needs are identified and addressed.

24 The Clean Transportation Program has invested
25 heavily in publicly available electric vehicle charging

1 infrastructure. Investments in this area support the
2 State's ZEV deployment and ZEV infrastructure goals, as
3 I had indicated earlier.

4 In partnership with the Center for Sustainable
5 Energy, the California Electric Vehicle Infrastructure
6 Project, or CALeVIP, targets incentive funding to
7 simplify the funding process and accelerate charger
8 deployment.

9 It should also be noted that the Energy
10 Commission invests in electric vehicle charging that
11 complements other sources of funding throughout the
12 State.

13 Clean Transportation Program funding is the
14 primary source of funding for the construction of
15 hydrogen refueling stations in the State. Existing law
16 directs the Energy Commission to allocate \$20 million
17 annually to fund the initial network of 100 hydrogen
18 fueling stations. There are 39 hydrogen fueling
19 stations that are open today; 12 stations are located in
20 disadvantaged communities. The total hydrogen refueling
21 network of 64 stations can dispense up to 17,000
22 kilograms of hydrogen per day.

23 For today's workshop, five representative
24 projects for ZEV infrastructure are highlighted. These
25 project successes represent efforts that started early

1 in the ZEV infrastructure portfolio of the Clean
2 Transportation Program. These early efforts have
3 subsequently attracted additional investments into these
4 companies and to their technologies. At the same time,
5 many of the communities where these projects were
6 constructed have accrued environmental and economic
7 benefits. The first panel will do a deeper dive into
8 their respective projects.

9 The Energy Commission has steadily invested in
10 ZEV technologies over the years. Investments have
11 concentrated on medium- and heavy-duty vehicles, with a
12 gross vehicle weight rating of 10,000 pounds or greater.
13 This class of vehicles represent a small share of
14 registered vehicle stock in California, approximately 3
15 percent, but they account for 23 percent of the on-road
16 GHG, or greenhouse gas emissions in the State.

17 ZEV supply chains in California are in
18 development and require lots of capital to produce
19 labor-intensive projects.

20 Critical elements to ZEV technology adoption is
21 the education of commercial fleets for this technology,
22 the role in costs associated with infrastructure, and
23 workforce support.

24 For today's workshop, four representative
25 projects for ZEV technologies are highlighted. These

1 project successes represent a cross-section of
2 investments into diverse, non-light-duty vehicle, and
3 off-road technologies and markets. The second panel
4 will do a deeper dive into these projects.

5 Clean transportation investments into low carbon
6 and clean air technologies are important strategies to
7 reduce petroleum dependence and fossil fuel consumption.
8 Use of waste-based and renewable feedstocks are capable
9 of producing very low-carbon-intensive transportation
10 fuel.

11 Additionally, the development of low NOx engines
12 for heavier vehicle classes has commercially proven
13 itself in the marketplace and within a relatively short
14 period of time.

15 Another hallmark of these investments has been
16 the ability to scale production of these projects --
17 excuse me, products that have very low-carbon
18 intensities. For today's workshop, four low-carbon
19 projects are noted.

20 We will now shift our attention to a panel
21 discussion. I would like to invite the first panel to
22 the table. The first panel includes Andy Hoskinson from
23 the Center for Sustainable Energy, John Schott from
24 ChargePoint, Dana Boudreau from the Redwood Coast Energy
25 Authority, Ryan Harty representing American Honda Motor

1 Company, Richard Schorske representing the Silicon
2 Valley Leadership Group Foundation, and Shane Stephens
3 at FirstElement Fuel. The Moderator for this panel is
4 Tim Olson.

5 Tim, we will have until 12 o'clock for your
6 panel questions and discussion.

7 MR. OLSON: Okay. Remember to push the button
8 here to get a green sign on your mic, when you speak.

9 I am Tim Olson with the California Energy
10 Commission. Welcome to today's session here. And one
11 of the -- the guidance we received is we're not doing
12 PowerPoint presentations today. We're asking the
13 speakers to start off with introductory statements and
14 for probably no more than five minutes each. And then,
15 we're going to go into the question and answer session
16 based on the questions. We've sent the questions to you
17 in advance and we may have others during the course of
18 the panel session.

19 So, I'd like to go in kind of an order. This
20 order, I'd like to have Andy Hoskinson go first,
21 followed by John Schott, Dana Boudreau, Ryan Harty,
22 Richard Schorske, and then Shane Stephens.

23 So, the first point of this is let's talk about
24 -- in terms of questions, you kind of want to use the
25 questions as a framework. Let's talk about the first

1 question here, which is: We'd like you to describe your
2 company, your background a little bit, and then what
3 your project is, or projects, some of you are involved
4 in several projects, that involve the Energy Commission
5 funding.

6 And to the extent you can, in that five minutes,
7 talk about the significance of that in terms of what
8 that means in a number of ways but, basically,
9 stimulating the growth not only for your company, but
10 also in the market that you're involved in.

11 And you can see we have most of the
12 representatives are electric vehicle charger-related
13 type of projects, and Shane Stephens is the hydrogen
14 fuel cell refueling infrastructure.

15 So, let's start with Andy.

16 MR. HOSKINSON: Thank you, Tim. So, I represent
17 the Center for Sustainable Energy. We are a 23-year-old
18 nonprofit. We're very much dedicated to decarbonizing
19 transportation and the built environment. Today, I'll
20 talk a little bit about what we're doing with the Energy
21 Commission on the front of decarbonizing transportation.

22 We do serve as a neutral and trusted adviser to
23 different government agencies. We are experts on clean
24 energy and, particularly, on electric vehicles and
25 electric vehicle infrastructure.

1 We implement multiple electric vehicle and
2 electric vehicle infrastructure incentive projects
3 across California and across the country. So, here in
4 California we implement, for the Energy Commission,
5 CALeVIP, which is what I'll talk about a little bit
6 today. But we also implement CVRP for the Air
7 Resources Board. And then in New York, as an example,
8 we implement the Drive Clean rebate.

9 We have been the implementer of CALeVIP since
10 its inception in 2017, late 2017. I'm going to go ahead
11 and describe that project a little bit. It is a little
12 bit different than some, I believe, of the other types
13 of projects that the Energy Commission has funded.
14 Specifically, it's set up to design and implement
15 regionally targeted incentive projects for electric
16 vehicle infrastructure.

17 It focuses on Level 2 and DC fast charger
18 technology. And it is a primary component, we believe,
19 toward reaching the State's goals for 2025 and 2030, not
20 just for the electric vehicle infrastructure, but for
21 the vehicles, our vehicle goals, as well as the
22 infrastructure, is a critical component of that.

23 CALeVIP's implemented by working with local
24 partners on that design and then the implementation of
25 those regional incentive projects.

1 The way it's structured, about 93 percent of the
2 funds from the Energy Commission go directly toward the
3 actual incentives for those site hosts that are building
4 electric vehicle infrastructure in the regions. Seven
5 percent goes toward the implementation costs, everything
6 from the design, marketing, engagement, outreach,
7 technical assistance. Obviously, the application,
8 review and processing, and the transparency elements of
9 the project overall, as well.

10 The way CALeVIP is set up, it's designed as a
11 first come/first serve incentive project. The intent
12 with that is to combine with simple application
13 processes to open up the market to a greater number of
14 actors.

15 Walking you through a really quick example, we
16 have a site host in one of the four regions we've
17 launched projects, in the last 22 months in. I'll give
18 you, as an example, a Fresno County Incentive Project,
19 Beneficial State Bank has installed 10 electric vehicle
20 chargers at their branch for public use. So, that's
21 thought as a benefit, 10 electric vehicle chargers to
22 an area of Fresno where there was not previously public
23 infrastructure installed.

24 Their process involved, when learning of
25 CALeVIP, an online application, finding and working with

1 specific service providers to procure equipment, install
2 it at the site, permit it. And once they've gone
3 through that process, a lot with local labor, they used
4 local labor for the installation, for instance, the
5 units become commissioned and are available to the
6 public.

7 Just highlighting a couple successes, I think,
8 over the last 22 months for CALeVIP, it went from a
9 concept to a full web presence, with resources to help
10 applicants move forward with electric vehicle charging,
11 and four regional incentive projects covering 9 counties
12 in Central California, Southern California, and Northern
13 California were rolled out. The projects were launched
14 in pretty rapid fashion. And the actual uptake of the
15 incentives of those has been pretty swift, as well.

16 I'll just highlight that's really, I think, let
17 to the fact that CALeVIP is an efficient and cost-
18 effective way to get funds out into the marketplace in a
19 rapid manner, to help make up for where we're at with
20 regard to our 2025, 2030 goals of infrastructure build
21 out. We've got a long way to go and speed to market is
22 going to be a critical factor for that.

23 I'll stop there and happy to add more later.

24 MR. OLSON: Okay, and we'll come back to you
25 throughout the morning here, with some other questions.

1 So, at this point I'd like to turn to John
2 Schott at ChargePoint. So, you heard -- you know, just
3 to kind of repeat Andy, CSE is an administrator and a
4 very accomplished -- an accomplished understanding of
5 how infrastructure is deployed in all these different
6 submarkets. And ChargePoint is another part of that
7 kind of effort going back 10, 12 years ago from the
8 start of this program.

9 So, John.

10 MR. SCHOTT: Thanks Tim and Larry. I appreciate
11 being with you all here today. So, my name is John
12 Schott. I'm the Senior Grant Operations Manager with
13 ChargePoint. So, my role strictly encompasses focusing
14 on federal, state, and local government grant programs
15 for electric vehicle charging infrastructure, working
16 with those entities to advise on good, sound program
17 design. Of course, going after those grants when they
18 become available. And working with our sales team to
19 help our customers leverage those grant opportunities,
20 as well.

21 So, I've been at ChargePoint for roughly three
22 years, but ChargePoint is a 12-year-old company. We
23 were founded in 2007. For those of you that kind of
24 understand the history and evolution of the EV market,
25 you'll know that that predates the introduction of, you

1 know, the Chevy Volt and the Nissan Leaf. So, those are
2 some pretty tough early days, but our founders were
3 highly competent, intelligent folks who understood where
4 transportation was going, and that the electric vehicle
5 revolution was going to be a big part of the future.
6 But also seeing that network charging was going to be
7 critical and going to offer significant value and
8 benefit for drivers, and the industry, all the players
9 in the ecosystem, you know, including utilities.

10 So, you know, in that 12-year history, you know,
11 I think we started working with the Energy Commission in
12 earnest beginning in 2010 and 2011, when we won our
13 first large grant from the Department of Energy, and
14 some ARRA funding that was available at the time, to
15 deploy a program called ChargePoint America, where we
16 deployed roughly 5,000 Level 2 charging spots around the
17 nation, focusing a lot on the coast, the East Coast and
18 West Coast.

19 And a partnership with the Energy Commission
20 that formed was providing some match, some supplemental
21 funding to help leverage those dollars to build out more
22 infrastructure in California.

23 I think over the course of our, you know, 10-
24 year, 12-year history with the Energy Commission, we've
25 been able to benefit greatly through our partnership

1 with the Energy Commission. It's hard to put an exact
2 figure on it, but I'd say somewhere on the order of \$30
3 million that ChargePoint has been able to receive both
4 directly, and leverage for our customers to deploy
5 charging stations, or to engage in research and
6 development projects to help further efforts in this
7 industry.

8 I'll mention a couple other projects building on
9 that one in 2011, the ChargePoint America program that I
10 mentioned. We had a manufacturing grant early on, from
11 the Energy Commission, that allowed us to, what we call,
12 on-ramp other manufacturer's or third-party DC fast
13 charging hardware onto our network.

14 So, that involved building a PCBA, a printed
15 circuit board assembly, that we were able to put into
16 multiple other third-party manufacturer DC hardware to
17 put those stations onto ChargePoint's network. And that
18 was our first experience and go-around with DC fast
19 charging, and we've learned a lot of lessons from that,
20 looking at where we've come today, now manufacturing our
21 own DC fast charging hardware here, in California, in
22 our headquarters just south in Campbell.

23 And we were fortunate enough to win another
24 grant to help build on those lessons learned to expand
25 that manufacturing facility to manufacture more DC fast

1 chargers to build out our Express Plus platform, and to
2 work very closely with a lot of California-based
3 suppliers of components and parts, modules and
4 subassemblies that will be incorporated into those
5 charging stations.

6 A couple of other projects I want to mention.
7 You know, it was thanks to the Energy Commission and a
8 grant that we got, where we deployed a project in San
9 Diego, focusing on multi-family housing. We deployed
10 over 200 Level 2 ports at multi-family properties. And
11 again, this is the first time we really cut our teeth on
12 the multi-family sector and understanding the unique
13 challenges to dwellers who, you know, live in these
14 urban environments and can have challenges accessing
15 public infrastructure and need that charging station at
16 their community in order to adopt electric vehicles.

17 We also worked on an R&D program, thanks to
18 support from the Energy Commission, to implement ISO
19 15118 into our home charging station, and working with
20 Daimler to test that, and proof of concept on a Daimler
21 electric drive vehicle. And also, deployed a pilot in
22 San Diego County with homeowners, working closely with
23 San Diego Gas & Electric to shift and curtail their load
24 based on a set schedule over the course of a few months.

25 So, there's been a lot of experience, a lot of

1 history. We really appreciate and value the
2 relationship that we've built with the CEC over the
3 years. And just to kind of tie into what Andy was just
4 talking about, you know, we've seen evolution of
5 programs now from, you know, these sort of ChargePoint,
6 you know, primed, complicated projects with, you know,
7 fantastic projects, but now we need to deploy a
8 tremendous amount of infrastructure to meet the rigorous
9 goals set by the Governor for, you know, a quarter
10 million charging stations, including 10,000 DC fast
11 chargers for 2025, and 5 million ZEVs on the road by
12 2030.

13 So, the CALeVIP program really, I think,
14 represents the maturity of these programs, acknowledging
15 where the market needs to go and increasing velocity.
16 So, now, ChargePoint can work with our customers who can
17 go after these incentives to, you know, install charging
18 stations, whether they be publicly accessible, or
19 dedicated to employees at a workplace, or residents in a
20 multi-unit dwelling facility.

21 MR. OLSON: Very good, John. Thanks for all
22 those comments. You've teed up three different
23 questions we're going to probe into later this morning,
24 appreciate that, related to vehicle grid integration,
25 some of the submarkets, that you mentioned one, and kind

1 of this approach on expansion. So, we'll get into that
2 here, in a couple minutes.

3 So, next on our list is Dana Boudreau, Redwood
4 Coast Energy Authority. Go ahead, Dana.

5 MR. BOUDREAU: Good morning. Thank you for
6 having me. I really appreciate the opportunity to thank
7 the CEC, personally, for all of their contributions to
8 our community, and also to represent our community.

9 I'm the Director of Operations at the Redwood
10 Coast Energy Authority. We're a joint powers agency in
11 Northern California, just about an hour shy of the
12 Oregon border. And we were founded in 2003. And our
13 mission is to focus on energy independence for the
14 region and primarily through building out renewable
15 energy resources and try to do as much of that locally
16 as possible.

17 Probably the most prescient grant for us was the
18 RESCO Grant, the Renewable Energy Secure Communities
19 Grant, from the CEC, which was an early focus on their
20 part to evaluate remote regions, rural regions,
21 disadvantaged communities, and what can be done to help
22 ensure energy resilience. And that really helped us to
23 focus on our overall mission and decide what can we do
24 to look at the overall State energy realities and pay
25 attention to the specific needs of our region, to come

1 up with a way to generate and consume energy, while
2 paying attention to some of the realities that we're all
3 seeing today with wildfires, and so on.

4 So, it was a very early awareness and that grant
5 allowed us to get a deep dive into the specific needs of
6 our region and, also, was it really possible for us to
7 achieve 80 to 100 percent renewable energy for all of
8 our energy requirements.

9 The good news was that it was possible. We
10 converted that into a repower plan. And since about
11 2008, the CEC has served to be an economic engine for
12 us. We've received grants to focus on building our
13 electric vehicle infrastructure. As well as, before
14 that, having readiness plans.

15 MR. OLSON: Get closer.

16 MR. BOUDREAU: Like a rock star. I'll be more
17 boisterous here. There we go.

18 We've had a series of grants. The first one was
19 for alternative fuel readiness planning. And the focus
20 there was primarily electric. We've also had a hydrogen
21 readiness plan recently completed this spring. And
22 we've had an implementation plan to roll out the initial
23 phase of our electric vehicle infrastructure.

24 So, all of that has proven to be very successful
25 for that. And we appreciate the methodical logic that

1 the CEC set up, originally with their plan, implement,
2 measure and adapt approach.

3 We're also glad that CALeVIP has shown up in our
4 backyard. I think we were the third or fourth -- the
5 fourth region. And we're over-subscribed, which is I
6 think we were the first one, and I think that happened
7 within 24 hours.

8 So, I think a lot of this, you can see the
9 investment that the CEC has been able to make in our
10 region has really created that leverage point so that we
11 can then take advantage of additional funds. We have a
12 very strong community interest. Because of this, we
13 have an educated and aware community. And so, those
14 funds can go places.

15 I think I want to leave as much time for Q&A as
16 possible, so --

17 MR. OLSON: Okay, very good. And you're also
18 touching on some things we want to wade into in a little
19 bit more detail.

20 So, next, I'd like to introduce Ryan Harty,
21 American Honda Motor Company. So, this is a slightly
22 different view, but also involved in infrastructure.

23 MR. HARTY: Hi, I'm Ryan Harty, Manager of
24 Connected and Environmental Business Development at
25 Honda. You may all know Honda and the products we make,

1 but you may not know that our U.S. headquarters are here
2 in California. And we're celebrating this year, 60
3 years since Honda was founded in the United States, so
4 we're quite pleased about that.

5 Today, I'll be talking about a grant that we
6 received for a workplace EV charging installation at our
7 headquarters. Honda's overall goal, and my group's
8 mission, is to reduce CO2 emissions of our total company
9 by 50 percent, by 2050, from 2000 levels.

10 So, what that really means is each unit that we
11 produce needs to be reduced by more than 90 percent for
12 its entire lifecycle of greenhouse gas. Really, we will
13 be implementing a strategy of product electrification.
14 By 2030, we think about two-thirds of our products will
15 be hybrids, plug-in hybrids, EVs and hydrogen fuel cell
16 vehicles. So, this all needs infrastructure, which is
17 why I'm here today.

18 I'll be talking, again, mostly about the EV
19 charging infrastructure, but Honda is also very, very
20 grateful for the role that CEC has played and, you know,
21 other players here at the table have played with the
22 hydrogen infrastructure and supports that scale-up and
23 our customers' needs.

24 So, we received CEC grant ARV-13-058. We
25 installed 60 EV charging stations, Level 2 EV charging

1 stations of ChargePoint equipment, on our Torrance
2 campus. Torrance is our North American Sales, Marketing
3 and Administration Headquarters, and about 2,500 people
4 are working and stationed at that campus.

5 So, we began planning that, maybe back in about
6 2012. And at that time, there were only 7 EV drivers on
7 our campus and none of them were driving Honda products,
8 because they hadn't been released, yet.

9 As with most big companies, capital expenditure
10 plans and planning cycles are really long, and it's kind
11 of hard to spend money in big companies. You know, our
12 company's very kind of capital constrained. We want to
13 spend capital to make, you know, new auto plants, and
14 expansions, and put them into parts distribution
15 centers, and things like that.

16 So, when I asked for money to, you know, put EV
17 charging on our campus, you know, top management has to
18 look and rank that with every other need of capital.

19 And I think without the CEC's support, it would
20 probably not have happened, or at least not have
21 happened at that scale and in that time frame that we
22 planned that installation. So, that was kind of key to
23 me making the pitch to build a large EV infrastructure
24 on our campus was the CEC support of that.

25 So, it took surprisingly long for us to complete

1 the planning, design and installation, but we finally
2 completed those charging stations in January of 2016.
3 And then, it took about six months for the usage to
4 really start to increase. But we observed people
5 looking at the stations. They saw the people who were
6 using them, using them every day. And I think people
7 got a kind of a recognition in their minds that, you
8 know, this could work for me.

9 And since that time, so in just a little more
10 than three years, today there's more than 463 unique
11 users, using those charging stations on our campus. And
12 so, that's kind of tremendous growth. The energy use
13 has now flatlined. We're at full capacity. We can't
14 deliver any more energy. And so, we're planning the
15 expansion of that site.

16 When we surveyed the users, we asked them what
17 was the number one factor in your decision to purchase
18 or lease a plug-in vehicle? And we gave them a range of
19 options about carpooling, access, and environmental
20 benefits, and operating cost of EVs, and access to
21 workplace charging. Eighty-seven percent of the
22 respondents said that the number one consideration was
23 the access to the workplace charging. That was their
24 primary consideration for purchasing and leasing the
25 EVs. Everything else was ancillary benefit that added

1 to their own benefit of having the EV.

2 We found that workplace charging -- you know, in
3 our surveys of the users, workplace charging reduced the
4 hurdle for customers to get into an EV. So, about 20
5 percent of users did not actually have any charging
6 access at home. They were in multi-unit dwellings, or
7 in rentals between -- you know, planning to move between
8 units. And this gave people an opportunity to try it,
9 without having to invest in their home charging station,
10 or ask their landlord, or something like that.

11 And it also allowed a lot of people to push the
12 range envelope of the car that they were driving so
13 that, you know, they -- you know, we have a lot of
14 people that have long commutes, and they were charging
15 it at both ends in order to make the EV work for their
16 lifestyle.

17 So, prior to this experience, though, I could
18 not have imagined, I think, the magnitude and importance
19 of workplace charging to the vehicle sales model. But
20 now that I understand that, it's kind of going to be
21 core to Honda's business strategy for EV sales moving
22 forward. It really is one of the keys to scaling EV
23 success in the future.

24 And then, we've done a lot of other, interesting
25 fun things I hope I'll get a chance to talk about later.

1 We've installed 166 kilowatts of solar at that site, so
2 100 percent of the energy use of that site, actually
3 about 200 percent today, is supplied by the onsite
4 solar. And we've learned how to generate, and
5 aggregate, and earn, and sell LCFS credits through that
6 installation.

7 And so, all of those things really came out of
8 the benefits of this EV charging installation. Thank
9 you.

10 MR. OLSON: Okay, very good, Ryan, appreciate
11 your comments and we'll wade into some of those other
12 questions, too, here in a couple minutes.

13 So, now, I'd like to turn my attention to
14 Richard Schorske. And, by the way, his organization is
15 listed incorrectly here. He's with the Electric Vehicle
16 Alliance, not the Silicon Valley Leadership Group
17 Foundation. Even though he has worked with them under a
18 grant agreement, but also several other entities. And
19 we'd like him to explain some of that in his background.

20 MR. SCHORSKE: Thanks so much, Tim, appreciate
21 that. Yeah, the EV Alliance was founded in 2009, not
22 too long after ChargePoint. Also attended the first
23 unveiling of the Leaf in Novato. I remember that quite
24 well. Now, we have something to do.

25 And our mission was to accelerate the mass

1 adoption of EVs, with a focus here in California. We
2 work on EV programs, planning, policy, infrastructure,
3 fleets, and market acceleration generally.

4 On the planning side, we've done quite a number
5 of the regional EV plans around the State, regional and
6 local. San Francisco, Monterey Bay, Central Coast,
7 Richmond, Ventura County most recently, Port of Long
8 Beach finance aspects, all of which were funded by the
9 CEC, plus some local match. Also, done some work
10 abroad, in the Kingdom of Jordan, with ChargePoint as a
11 matter of fact, and elsewhere.

12 In terms of best practices, we did the first
13 statewide guidance document, the Ready Set Charge
14 California Guide, the EV-ready communities, with a whole
15 range of partners.

16 Another document on linking EVs, fast chargers,
17 and storage to the grid, and strategies for EV charging
18 in multi-unit developments in the Bay Area. And one of
19 those was funded by CEC, I believe.

20 And in terms of market acceleration, we've been
21 a big proponent of the regional EV councils. Put
22 together a stakeholder coalition to found those councils
23 and got CEC funding for them. I think there's eight or
24 ten of those around the State, now. And we also founded
25 the Bay Area EV Strategic Council.

1 One of the most interesting aspects of, I think
2 of our acceleration strategies, has been trying to get
3 local and regional players both resourcing, and paying
4 attention to EV infrastructure. I think the State has
5 really given a tremendous amount, but if you look at the
6 total landscape, and air districts have as well, of
7 course, but you see relatively uneven engagement by
8 transportation agencies, metropolitan planning
9 organizations, and cities, and counties.

10 So, we were fortunate enough to have the MTC,
11 the Metropolitan Transportation Commission, in the Bay
12 Area, devote about \$15 million to an EV campaign, a set
13 of strategies, actually some years ago and with a
14 promise to do substantially more in the future. And we
15 think that regional bonds, transportation and
16 infrastructure bonds should be greened with EV
17 infrastructure as a major component of that strategy. I
18 think everyone's aware that many regions do multi-
19 billion-dollar transportation bonds, and to do a huge
20 benefit to EV infrastructure would be a very tiny
21 fraction, literally single-digit percent of those bonds,
22 if that was in fact on the radar screens of
23 transportation agencies and MPOs. So, we think that's a
24 huge opportunity.

25 We've also done a lot of work, lately, with

1 CCAs, most recently Silicon Valley Clean Energy, which
2 is devoting about \$8 million in the next couple of years
3 to EV infrastructure. PCE, Peninsula Clean Energy is
4 devoting about \$12 million. And as you see, CCA's
5 taking up, you know, 50 to 80 percent of the customer
6 load in the next few years, we'll see Clean Power
7 Alliance, and others, really, I think come to the table
8 and follow the lead of, frankly, Redwood Coast, and
9 Sonoma, and Marin who have also invested in EV. So, we
10 see that as a big expansion of the pie.

11 We did a lot of work on infrastructure, ABAG and
12 a bunch of partners in the Bay Area, we did 400 ports in
13 23 cities. ChargePoint was an important local partner.
14 Bay Area and Central Coast Charge Ahead project,
15 supported by the CEC, who's another 70, plus ports.

16 And then, an ongoing project that we have is the
17 e-Fleet Accelerator Project, which we're really excited
18 about. That's six counties. And it's very proactive
19 outreach to public and private fleets. The larger
20 fleets typically to answer all the questions that fleets
21 have and to do an economic analysis down to the kind of
22 vehicle level of, okay, what vehicle can we retire and
23 electrify first? What is their infrastructure cost
24 profile? What's the TCO, and the like?

25 And our observation is that fleets simply don't

1 have inhouse expertise on electric, yet, except for a
2 few of the largest ones. And they really need some
3 handholding and some encouragement to navigate the
4 incentive programs, tackle the infrastructure, and so
5 on. It's not enough to have just the vehicle incentives
6 out there. As important as they are, there really needs
7 to be a TA outreach that's quite proactive.

8 The same on the MUD front. We've done a number
9 of projects in the MUD segment. One challenging project
10 was trying to integrate storage, solar, and EVSE for
11 multi-unit developments in San Francisco. Our local
12 partner was Powertree Company that is focused just on
13 that segment.

14 And, you know, like everybody else, we have some
15 scars there in terms of just how tough it is to sustain,
16 not only to engage, but especially to sustain MUD
17 ownership willingness to set aside those parking spaces
18 where they're shared or dedicated for EV over time, and
19 to address the operating cost profile of EVSE which, you
20 know, is a tough nut to crack for folks that are looking
21 at the bottom line, you know, every minute.

22 So, one recommendation we have is the CEC take a
23 page from the Hydrogen Program, and not just fund the
24 infrastructure, but really look honestly at the fact
25 that the business model for MUD is either broken or

1 doesn't really exist, to be blunt. And that folks need
2 operating support while there's increased uptake,
3 whether it's a shared or dedicated model for charging
4 there. There's several years before you're going to get
5 sufficient use of that charger to actually pay for
6 itself. And I think that the model established for
7 hydrogen fueling stations and just acknowledging the
8 operating cost deficit is something that, you know,
9 applies to MUD in particular.

10 I've probably used my five minutes, so I can
11 come back later.

12 MR. OLSON: Thanks, Richard. Lots of stuff
13 covered there in five minutes.

14 And our last speaker on this panel is Shane
15 Stephens, with FirstElement. And so, you heard Larry's
16 initial comment that we -- I thought it was a little
17 more than 39 stations that are operating, but by the end
18 of this year we think we're going to have 61, I think,
19 total in the State, or somewhere close to that. And, of
20 course, our goal near term is to get 100 stations on the
21 ground and supporting several thousand hydrogen fuel
22 cell vehicles.

23 And FirstElement is one of those companies that
24 is a pioneer in this area. So, Shane, go ahead.

25 MR. STEPHENS: Thank you, Tim, appreciate that.

1 Hi, everybody, I'm Dr. Shane Stephens. I'm one of the
2 founders of the FirstElement Fuel. And I'm especially
3 excited to be here today because I moved to California
4 15 years ago to work on clean energy, and it's been
5 quite a journey. And, you know, today I get to partner
6 with the CEC and with industry leaders to build clean
7 hydrogen stations in the State. And we eliminate
8 gasoline miles, and we reduce CO2 in a significant way,
9 and it's just very exciting.

10 So, FirstElement, we're a California-based
11 company. We're small but growing. We're fully
12 dedicated to development, ownership and operation of
13 retail hydrogen stations.

14 And I want to be very clear up front, our
15 company would not exist were it not for the California
16 Energy Commission's program for deployment of hydrogen
17 stations. So, you know, a big thank you to the CEC.

18 And, also, for the great work that staff does
19 with us. You guys are a huge part of our success in the
20 great work that you do. So, I see a bunch of you out
21 there. Thank you, guys, so much.

22 So, we started our company, actually, with some
23 seed financing from Toyota and from Honda, who are, you
24 know, kind of two of the leaders bringing fuel cell
25 vehicles to California. And then, we were able to use

1 that private capital as cost share to successfully
2 compete for CEC grants to build hydrogen stations.

3 We built 19 hydrogen stations at an
4 unprecedented speed and scale as a result of the first
5 round of grant funding that we competed and were
6 successful in. That created a statewide network of
7 hydrogen stations across California. So, actually, a
8 customer who buys a fuel cell car in San Diego, today,
9 could drive to Lake Tahoe in one day, with nothing but a
10 credit card and stopping at our hydrogen stations to
11 fill up, five minutes at a time, at each fill.

12 I've now done that drive several times. But the
13 first time I did it, I almost cried because I couldn't
14 believe I could do that with just a credit card. Very
15 cool. You know, didn't know when that day would come.

16 So, we have, you know, through our company
17 created jobs within, but also outside through
18 subcontractors. So, literally, you know, hundreds of
19 California jobs in the process.

20 Internally, we actually have a very cool program
21 for our field service representatives, our guys that
22 work on the stations, and interface with the customers,
23 and maintain them. We hire Veterans, primarily Marines.
24 We find that they have a very good skill set for that.
25 So, we have a great team that we're building.

1 And with those 19 stations open, we've now
2 completed over 350,000 successful fills on fuel cell
3 cars. We've eliminated over 78 million gasoline miles
4 and replaced them with zero emission miles. We've
5 avoided over 50 million pounds of CO2. So, we tend to
6 talk in these numbers, 50 million pounds. That's the
7 equivalent of planting a forest half the size of the
8 City of San Francisco. So, think about that. CEC
9 dollars, just on our 19 stations, displacing that kind
10 of CO2, and we're just getting started. It's really
11 impressive.

12 Another announcement, this is actually -- you're
13 all the first to hear to it, we've actually secured 100
14 percent renewable hydrogen. So, from here going
15 forward, we'll be able to reduce CO2 emissions even more
16 aggressively with each fuel cell car that we fill.

17 So, these 19 stations are, you know, the first
18 round of stations that we did. We're developing 12
19 more. And these first 19 stations are little tugboats.
20 You know, they're doing great serving our customers, but
21 we are having trouble keeping up with customer demand,
22 frankly. You know, cars are being brought by Toyota and
23 Honda, primarily, in a big way. Customers are driving
24 the car as their primary vehicles, getting a lot of
25 miles on them.

1 And the message from automakers to us is loud
2 and clear that the retail hydrogen infrastructure is
3 constraining the market and has the potential to
4 constrain the volume of cars that they will bring. So,
5 you know, I think we need to accelerate, and we need to
6 scale up.

7 The good news is we've been laying the
8 groundwork for that. The new, 12 stations that we're
9 building as part of the CEC program have more fueling
10 positions and more capacity, meaning that they can fuel
11 more cars at a single station. We've been preparing for
12 that scale. And as part of preparing and building for
13 that scale, we've seen a doubling down of private
14 investment.

15 So, I'll give two examples directly related to
16 our company. We've had a Japanese company, Mitsui, and
17 French Multinational, Air Liquide, both put money into
18 our company in a big way. That's very exciting.

19 Maybe even more exciting is that they are
20 investing across the hydrogen supply chain. Mitsui,
21 I'll give one example, is invested in Hexagon, a company
22 that makes hydrogen tanks, and investing in them in a
23 big way.

24 Air Liquide actually is putting \$150 million of
25 private money into a new hydrogen production facility

1 dedicated for California's transportation sector.

2 That's huge. I mean, that's one single investment.

3 And we all have to recognize in this room that
4 that's because of CEC investments, right. Your
5 investments laid the groundwork that's unlocking this
6 private investment in a big way.

7 So, I think, you know, CEC, we really love the
8 groundwork you guys have laid. Keep doing what you're
9 doing. Keep doing more of your good work. And, you
10 know, I think we're going to see the private sector come
11 in, in bigger ways, with more investment. And, you
12 know, we just have to keep up with the cars and keep
13 encouraging the carmakers to bring fuel cell cars.

14 So, thank you.

15 MR. OLSON: Very good. Thank you, Shane.

16 So, at this point I'd like to go into question
17 number 3. And so, part of this is we've heard -- I
18 think you're representing a lot of the companies we deal
19 with in terms of progress success. And I think we're
20 close to over 150 different companies we work with,
21 where money has been awarded, and projects deployed, and
22 we couldn't -- we really couldn't get 150 people here
23 today to speak, even though many wanted to.

24 But we're at this point where we've had this
25 progress, some key ingredients for success, and these

1 things are moving at different maturity levels.
2 Richard's point that there's a real integration step
3 here that is happening or needs to happen. And we want
4 to get into this kind of question of replication.

5 What's the potential to replicate either your
6 individual companies, your entities, and can others
7 learn from this process and help in that replication?
8 Like in hydrogen, going above 100 fueling stations,
9 trying to get that on the ground near term.

10 And as many of you know, in our electric vehicle
11 passenger vehicle expectation is that we need 250,000
12 market-placed projects on the ground, charge points on
13 the ground to support 5 million vehicles.

14 And I'd also like, as you go into this area in
15 terms of replication, where, to the extent you have
16 insights about this and are willing to share it, those
17 submarkets that look like some growth areas of
18 replication. So, the host sites, MUDs, residential,
19 workplace, et cetera, corridors.

20 And then, in hydrogen, in hydrogen and electric,
21 also the different, kind of going in -- we haven't
22 talked about medium-duty, heavy-duty, where you think
23 something might be going there, and any of the other
24 kind of vehicle categories.

25 So, what I'd like to do is start with John

1 Schott, and then we'll go -- and then, I'd like to then
2 go back, Shane, to you on the same question. John.

3 MR. SCHOTT: Sure. Thanks. So, absolutely I
4 think, you know, again thanks to CEC support in those
5 early years, especially, you know, we were able to grow
6 and mature as a company. Those were very critical
7 investments, you know, matched with private investments
8 that we utilized to be able to grow our business.

9 And looking at where we've come in 12 years, you
10 know, we now have approximately 100,000 EV charging
11 spots in North America, and about 700 employees that are
12 strictly dedicated to EV charging. That is our entire
13 business. That's all we do.

14 But I think, you know, in terms of replicating
15 success, you know, one project that I did leave out, not
16 intentionally, when I was talking about all the
17 different projects that we've worked closely with the
18 CEC and other partners on, thanks to, you know, grant
19 support, is a \$13 million project that ChargePoint is
20 currently embarking on to install and electrify
21 California's corridors. Both the north/south and
22 completing the West Coast Electric Highway, and the
23 Interregional Corridors.

24 It's a very complex project. It's taking a long
25 time. There are administrative challenges, but we are

1 working closely with the CEC to overcome those and
2 demonstrate success and build out a network of DC fast
3 chargers across the State, linking to other states as
4 well. But ChargePoint can only handle so many of these
5 projects. You know, again, there's a lot of
6 administration that goes along with it.

7 So, I think, you know, again, to pivot back to
8 the CALeVIP model, you know, I recall the first workshop
9 that was created and hosted by the CEC to discuss this
10 new model that they were soliciting input and feedback
11 on. Really, changing how the ARFVTP program, as it was
12 called at that time, was going to work and operate. And
13 I think there was some concern on our part exactly what
14 that would look like.

15 But now, you know, kind of having come through
16 the other side I think, you know, we couldn't be more
17 thrilled about the model that has been built and the
18 first initial programs, or projects that have been
19 created and successfully rolled out across the State.

20 And excited to see what 2020 brings and 2021,
21 and future years.

22 So, I think, you know, the great work that Andy
23 and his team are doing, working with Brian Fauble and
24 other staff at the Energy Commission to develop and
25 replicate this model to make sure that investments

1 aren't just directed to where the drivers are today, but
2 to make sure that we're directing investments into
3 disadvantaged communities.

4 And I think looking at the very first project
5 under CALeVIP, that was launched in Fresno County, was a
6 great sign of that dedication and support to making sure
7 that they're directing investments into the right
8 places.

9 Again, Dana, you mentioned about, you know, the
10 program that launched in Humboldt, Shasta, and Tehama
11 Counties, and the tremendous support and demand for
12 those incentives instantaneously, you know, that we saw.
13 Again, replicating that across the country, you know, as
14 we are going and talking with other state entities,
15 importing back to California on what they're doing is
16 something that I do on a daily basis.

17 So, just to kind of pivot and talk about, you
18 know -- you mentioned medium- and heavy-duty vehicles.
19 You know, we're starting to see the vehicles in those
20 categories, you know, proliferate. You know, there have
21 been some aggressive goals and mandates set.

22 We're going to need a similar focus and approach
23 to not just ensuring that, you know, you get a bus, you
24 get a charger. That only works, you know, for kind of
25 those first, initial vehicles. But that we really have

1 a comprehensive approach and strategy to building out,
2 you know, depots of charging infrastructure for these
3 fleet vehicles as you see transit agencies, school
4 districts, shuttle buses, and other medium- and heavy-
5 duty vehicles looking to electrify their fleets.

6 So, we look forward to engaging with the CEC and
7 other stakeholders in processes to ensure that we're
8 building out infrastructure that can effectively support
9 those subcategories in the market as well.

10 MR. OLSON: Okay, thank you, John.

11 I'm going to ask Shane to go next. But let me
12 just also mention we're going to do a -- for this panel
13 session, we're going to do public comments just before
14 noon. If you have a public comment that you want to
15 make, fill out this blue card or we can -- raise your
16 hand when we're at that point. But this would be a good
17 way to give us your card here. They're available on the
18 back table, I think, for you.

19 Okay, Shane, the same question.

20 MR. STEPHENS: Yeah, I think it's a really
21 important question because at the end of the day you
22 need create a healthy market, with multiple players, and
23 have an off-ramp for government subsidies. Right,
24 there's plenty of examples where industry sector gets
25 going, and then it's like the subsidies keep going and,

1 you know, we continue asking for new and creative ways
2 for subsidies.

3 So, I think, you know, a couple really good
4 things for hydrogen. So, at First Element, we see an
5 exit ramp for government subsidies. And we think that's
6 in the late 2020s. We think that's with about 250,000,
7 you know, fuel cell vehicles on the road.

8 I hope to be back here talking to you, Tim, and
9 to your Commissioners about how we start sunseting,
10 right, subsidies.

11 I think, you know, we will need a push beyond
12 that. I think having, you know, good agency support,
13 you know, having the CEC continue its efforts is going
14 to be really important.

15 The ARB, of course, is a great partner with the
16 CEC and between the two agencies, you know, the
17 collective policy landscape there is very good for the
18 development of hydrogen over the next several years.

19 I think there's a new LCFS capacity credit
20 program that exists for both hydrogen and EV charging,
21 actually, that's going to be, you know, key to helping
22 us get over that hump until the late 2020s.

23 I would like to see more interagency
24 coordination, you know, and more consistency. In terms
25 of, you know, saying all right, we're going to go toward

1 ZEVs. You know, hydrogen is a part of the ZEV strategy.
2 And let's not send mixed signals.

3 You know, the PUC, for example, I think could be
4 doing more on hydrogen. You know, not to name names,
5 but I guess I just did. You know, some of the programs
6 at the Treasurer's Office or at the Board of
7 Equalization, which now has a new name and I forget what
8 it is. You know, we'd like to see more consistency to
9 support hydrogen across all those agencies.

10 I think, you know, the other big thing that we
11 see is, you know, again, private investment coming in,
12 in a big way. Doubling down, coming in, in a bigger
13 way. But also, more companies getting involved in the
14 development of hydrogen stations and in a very exciting
15 way. Shell, for example, a big oil company getting
16 involved in the development of hydrogen stations.

17 You know, I think that kind of diversity in the
18 marketplace, that kind of branding in the marketplace is
19 a very good thing.

20 So, I think there is a role for multiple
21 players. I think there's an exit ramp for government
22 subsidies. And I'm just talking about the light-duty
23 sector here, right, light-duty vehicles.

24 So, you mentioned medium- and heavy-duty as
25 well, which I'll touch on. First, to say, you know, our

1 company I think remains very focused on light duty. As
2 I mentioned in my intro, we're having trouble keeping up
3 with that, right. So, I think we need to do our job.
4 Keep encouraging carmakers to bring those cars, keep up,
5 have the development of the infrastructure be an
6 encouragement and not a discouragement, right, to more
7 of those vehicles coming out on the road.

8 The other thing I'll say is that, you know, with
9 medium- and heavy-duty, again, there's a business case
10 here for hydrogen with volumes. Right, so if you can
11 get fleet commitments, right, so you can get a fleet of
12 buses, a fleet of trucks with some kind of commitment of
13 I'm going to use this much hydrogen, this really starts
14 to be less important to do subsidies on the
15 infrastructure side, right. So, you know, again, we're
16 not really focused in this sector. But, you know, if
17 somebody came to us and said, hey, we have, you know,
18 ten heavy-duty trucks and its going to use this much
19 hydrogen, you know, I could pencil you out a business
20 model right now and say this is what we'd have to charge
21 you. And I don't need any subsidies, right? Subsidies
22 might help bring down that cost a little bit.

23 So, I think, you know, it's very exciting.
24 There's a business case here with hydrogen. Of course,
25 with light-duty, you know, it's a little bit more of a

1 challenge because you have to build infrastructure out
2 ahead of the cars a little bit, right? So, there's
3 going to be a waiting period. But again, in the late
4 2020s we see an off-ramp for that.

5 MR. OLSON: Okay. So, I'd like to kind of pose
6 the same question. Andy, you have your finger on the
7 pulse of a lot of things going on in this area. And
8 this question of replication, you're seeing right now,
9 as you start putting out tranches of money, that you're
10 getting uptake pretty immediately. And this is still a
11 first come, first served, right? It's that kind of
12 approach. So, what's your sense about replication?

13 And then, I'd like to follow with Richard, and
14 then Dana, and finally Ryan on the same comment.

15 MR. HOSKINSON: Yeah, great. So, I think, well,
16 the first thing to note is the way that CEC and staff
17 conceived of CALeVIP. It's designed to be replicable.
18 In fact, it's, in essence, an umbrella for these
19 repeatable, targeted incentive projects. And I think
20 the fact that four of them have released within 22
21 months, along with the actual -- just the basic creation
22 of CALeVIP in that time frame, as well, kind of speak to
23 that replicability already.

24 I think it goes more than that, though. It's
25 also set up and I think what's required is a degree of

1 improvement, continuous improvement. Some of the other
2 speakers here, Richard in particular, noted the need for
3 pulling in additional local investment. The
4 diversification of engagement and investment in that
5 infrastructure. And I think he noted some CCAs, public-
6 owned utilities, and metropolitan planning organizations
7 as examples.

8 CALeVIP has seen some early success with that,
9 and which I think is not only replicable, but can be
10 accelerated as well.

11 So, on the Sacramento County Incentive project
12 there is the ability to partner with SMUD, again just
13 focused on the light-duty efforts there. Where, instead
14 of multiple incentive projects in that reason, they're
15 only going to put one. So, the noise or confusion to
16 potential applications was reduced as well, again
17 helping to facilitate speed of action in the
18 marketplace, which we all know is what's necessary,
19 especially at this still, relatively early time frame.

20 Something else to note as far as an improvement
21 to the launch of additional CALeVIP type projects is the
22 need to ensure that it's intelligently done. Both
23 Richard and John spoke to this in varying degrees. The
24 planning efforts that Richard noted have occurred, that
25 CEC has generously funded, and intelligently funded

1 early on, have been something as Dana had noted, really
2 ready a region to take that action. Those plans cover
3 most of California, but they're also dated as the
4 technology has changed.

5 So, in looking at replicating that future of
6 success that we've seen, there probably should be some
7 consideration as well to the steps that were put in
8 place to create the factors that led to the success.
9 And I think planning is one aspect that did so, and we
10 have some evidence to that.

11 And then, I think John had noted the success in
12 the Fresno County Incentive project where a little over
13 60 percent of the currently allocated funds are going to
14 disadvantaged communities. And that's above the
15 currently set standard that the Energy Commission has
16 put forth of 25 percent of a minimum investment in
17 disadvantaged communities.

18 In all of the project areas where we have that
19 reportable data, Fresno, Southern California, four
20 counties there, and in Sacramento, that 25 percent
21 threshold's already been exceeded. And while that is, I
22 think, a success that has been replicated, again I think
23 continuous improvement there can be employed.

24 And where we're looking at models that I think,
25 just much like EV Alliance, relies on lots of smart

1 partnerships, I think that partnership model with the
2 right community-based organizations and local actors
3 will increase the engagement in future projects, and
4 allow for under-served communities, communities of
5 concern to be able to voice their needs, specifically,
6 and designed to be further improved to really deliver
7 direct benefits that they're looking for.

8 MR. OLSON: Okay, Richard, you have any other
9 insights to add to this topic, this question?

10 MR. SCHORSKE: Yeah, I just wanted to mention
11 two things pertaining to the fleet domain. First of
12 all, I think that everybody's observed that there's
13 really uneven allocation of resources from IOUs by
14 region, and by IOU territory, I guess I should say, and
15 in terms of program design.

16 I think it's fantastic that, you know, the CPUC
17 has encouraged rate-basing of infrastructure and that
18 the IOUs are focusing, in many cases, on medium- and
19 heavy-duty.

20 But the constraints that, you know, transit
21 agencies who are looking at bus electrification, and
22 medium- and heavy-duty, you know, fleet delivery and so
23 forth are looking at is just some really massive first
24 costs and then it's kind of done. You know, the
25 electrical upgrade costs are one and done, for the most

1 part on those fleets. But they're really a serious
2 obstacle for those that can't access the incentives, or
3 where the incentive budget just isn't sufficient.

4 But I think, you know, some of this is in the
5 CARB bucket, obviously, and also the CPUC bucket. But
6 as far as, you know, CEC's role in planning, and also
7 resource allocation, if there was some way to really
8 assess this more comprehensively to understand the
9 unevenness of the resourcing and, you know, what the gap
10 is in terms of the total need I think that would be
11 quite helpful. And, also, help to guide CCA investments
12 as they get more program authority and resources to do
13 work themselves, on the fleet side.

14 And then on the VGI, I just wanted to mention a
15 couple of things. My sister organization ZNE Alliance,
16 has a couple of VGI projects in Antelope Valley, E-bus-
17 to-Grid Integration Project. And we're also a partner
18 in the VTA Project, led by Prospect Silicon Valley, a
19 similar project. And those are trying to basically
20 manage charging for these large fleets of E-buses that
21 are coming online.

22 And in the school bus electrification world,
23 that is, by everybody's assessment, the best use case
24 for V2G, in particular. And just because they're there
25 in the summertime all day, and they also have a good

1 profile for daily and weekend use as resources to the
2 grid.

3 And there, there's a number of barriers that I
4 think CEC could address already. The Prop. 39 funding
5 helped with just the initial bus purchase. Obviously,
6 the HVIP is great. But to actually incent full
7 participation in VGI, and V2G, specifically for school
8 buses, there needs to be, again, some upfront incentive
9 for the districts to take on the complexity and for
10 qualified intermediators, and systems integrators and,
11 you know, EVSE companies to get in there and do the work
12 to get to commercial scale integration, not just pilot
13 projects.

14 So, I think there's a huge benefit, the grid
15 benefits and the stakeholder benefits, generally, are
16 basically proven on a school bus, a V2G with the price
17 points that we're hearing for V2G enablement of school
18 buses. So, I think there's just huge opportunity to
19 just vault forward and have most, and not just a few,
20 school districts be V2G enabled for electric buses.

21 MR. OLSON: Okay, very good. Thanks for raising
22 that point. And just kind of related to that, the Air
23 Resources Board has asked us to consider allocating
24 money for a lot of the -- through March 1st, 2019 the
25 HVIP Program, and some other ARB funds have incentivized

1 1,713 medium-duty, heavy-duty vehicles throughout the
2 State. With build times of 400 to 600 days, and a very
3 significant shortfall and money allocated for
4 infrastructure.

5 And, so, we're weighing that and what the method
6 is to deploy money. And in conjunction with utilities,
7 probably a more closer coordinated program.

8 And, but we'd like to hear some comments on our
9 record about the need for that. So, good that you're
10 raising it here, but this is a comment for all parties
11 here. We need to get some things in writing stating
12 what that need is and a desire for some allocation of
13 money in this area.

14 And, also, you touched on another point and
15 that's the tracking of what's gone on. And we're seeing
16 a -- with light-duty, there are lots of ways of tracking
17 information from our DMV database, and lots of different
18 entities are tracking that. With medium duty, heavy-
19 duty, it's a really hit and miss kind of source of data.
20 And we think that that would be a good recommendation to
21 us, that we need to set up something like that.

22 Okay, so Dana, I'd like you to kind of comment
23 on that and that we've raised this planning things. So,
24 we look at Redwood Coast as kind of an illustration of
25 kind of an integrated, CCA, utility function, and also

1 your success in how you've planned this out, the
2 strategies you've come up with. And you have kind of a
3 limited physical, geographic territory there, but is
4 that also replicable throughout not only in your area,
5 but through other areas in California?

6 MR. BOUDREAU: I'm glad you saved an easy
7 question for me. I'm going to focus on the rural
8 question because we are rural and that's the majority of
9 the topology in California.

10 Workplace charging is challenging simply because
11 the workplaces are small, very limited infrastructure.
12 Residential charging is challenging because most of the
13 built environment was established before the Energy
14 Codes of 1974. So, we just don't have the electrical
15 capacity at homes and it's very expensive to do a panel
16 upgrade, as well as install the equipment in the first
17 place for charging.

18 So, our focus is really on public charging. And
19 from a revenue perspective, getting the private entities
20 to invest, they pretty much need to see a solid revenue
21 proposal for that to be logical.

22 So, in our case, we're a regional energy office
23 and there are only two of those established in the
24 State. But the Community Choice Aggregation programs
25 are in many ways a very similar type of style, where the

1 initiatives are similar, the motivating factors are
2 similar. So, I think that where there is a CCA in
3 place, they can serve as a proxy for a regional energy
4 office.

5 And there's some interesting things that come
6 into play, getting just beyond supporting transportation
7 electrification because they have other initiatives,
8 such as demand response. And if you can build out a
9 network of EV charging, suddenly you have economy of
10 scale where you can do demand response.

11 I forgot to mention we pay a slight premium, so
12 our network is 100 percent renewable, and we've done
13 that from day one. So, that also allows us to
14 accelerate renewable energy adoption for our region.

15 Vehicle to grid, obviously we're going to need a
16 relatively robust grid for that to work. And we also
17 need to be able to aggregate vehicles for it to be a
18 large enough player for the California Independent
19 System Operator to be able to engage with. So,
20 aggregation's going to have to be key.

21 And I think that a local government agency is
22 probably better connected with State level players to
23 initiate those types of activities. Whereas, if you're
24 a hotel chain, for example, you might not necessarily
25 have the same motivation.

1 Did I miss anything?

2 MR. OLSON: That's good. I happen to own a
3 hotel. I know exactly what you mean.

4 So, Ryan, do you have any other comments you
5 want to add to this before we get into the other
6 questions?

7 MR. HARTY: Yeah, sure. On the topic of
8 replication, so for Honda, we have 67 facilities across
9 the United States, parts centers, and offices, and
10 whatnot, and manufacturing sites, and R&D centers. We
11 also have about 1,300 automobile dealers across the U.S.

12 And so, based on our experience with the
13 workplace charging project that we did, we developed
14 kind of a short guide to workplace charging, as well as
15 a small capital pool to seed installations.

16 And so, we've developed workplace charging sites
17 at Honda R&D in Ohio, at the Honda transmission
18 manufacturing plant in Ohio, at the Marysville auto
19 plant support office, and the R&D centers in L.A., and
20 several of the parts centers.

21 And without the experience, you know, people
22 don't like to make decisions. Those facility managers
23 like to come, and they like to look, and they like to
24 play and touch with the things. They like to plug in
25 cars and see what happens and stand in a puddle and not

1 get shocked, and things like that. And so, having that
2 experience is key to promoting and replicating these
3 successes.

4 So, in addition we created a program at American
5 Honda to assist our dealers with installing EV charging.
6 So, just for their service bays to support the sales and
7 service of the cars taht they've sold, but also public,
8 public Level 2, we've installed ChargePoint EVSEs out
9 front. So, any customer within the ChargePoint network
10 can find the stations and use them.

11 And that really supports when it's the idea of
12 public charging, where a customer can see a product
13 being charged. They see the station, and something just
14 click in their mind and they think, ah, this can work
15 for me. And then, they consider the purchase of the
16 next electric vehicle, something will change. But if
17 they don't have that actual experience seeing, and
18 feeling, and touching EV charging, it's somehow abstract
19 and they won't think about, they won't even consider
20 purchasing an EV for the next time around.

21 So, all of those sites at the dealers then also
22 become workplace charging for those employees. An
23 average Honda dealer supports maybe 50 to 100 employees.
24 That's a large employment footprint, then, that becomes
25 exposed to EV charging. So, we've replicated in that

1 way.

2 I think moving forward with replication at, you
3 know, MUDs and I think, you know, private worksites,
4 corporate worksites. This is really challenging, and it
5 will have, should have a role for CEC. I know Richard
6 talked about the business model of EV charging. And
7 today, you know, most workplaces that install workplace
8 charging, it's either kind of a form, a little bit of
9 corporate charity, or a -- you know, the CEO got a Tesla
10 and they want to plug it in at work. And so, the
11 facilities guy goes, and they hook it up, and make that
12 happen.

13 But, really, from the business owner
14 perspective, there's no return. There's no return on
15 capital. If they're going to install a substantial
16 amount of money in EV charging at their corporate site,
17 that model needs to return some capital to them. Even
18 soda vending machines actually generate profits for the
19 treasury of most small companies.

20 And so, to do that, that the whole EV charging
21 business model needs work. So, hardware needs to be
22 reduced in cost. The installation processes, and
23 methods, and materials need cost reduction. The
24 networking and data access needs cost reduction. The
25 revenue model and the ways of charging and community the

1 value of charging to the customers, who are going to use
2 it, needs to be improved.

3 Demand charges. At our site in Torrance, we
4 got, I think, a 5-year demand charge waiver based on our
5 SCE rate. And that's key to the value proposition of
6 that at our site. The demand charges, themselves, are
7 maybe more than 50 percent of the cost of the energy for
8 EV charging.

9 And if you're a MUD owner, you just look at that
10 and say, no, we're not going to install EV charging
11 because we're going to get hit by these demand charges,
12 and the costs greatly outweigh the benefits. So, that
13 needs a lot of work.

14 Until EV charging can be a profitable venture
15 for any site owner to install it, or EV charging is a
16 service that's provided that's profitable to that
17 company that provides that service, we can't scale. We
18 can't scale the business. And then, if we can't scale
19 the EV charging business, you can't scale the EV sales
20 business. So, that's going to be challenging. There's
21 going to be roles for CEC programs to spur investments
22 in those areas.

23 From the -- going back to the value proposition
24 of EVs and EV charging, we think V2G has a big role to
25 play, both for helping worksites to manage demand

1 charges at their sites, but also enabling, you know,
2 kind of the vast array of different potential grid
3 services and energy arbitrage from vehicles. Having a
4 tremendous integrated network of distributed energy
5 storage devices, and being able to unlock the potential
6 to, you know, increase the amount of renewable energy
7 that the electric grid can integrate by having this
8 distributed, dispatchable, energy storage and energy,
9 you know, charging resource at our hands I think can
10 both scale renewable energy, but EV charging at the
11 site.

12 So, getting some of those values back to the
13 site hosts who install EV charging at their workplaces,
14 at the MUDs, along the street for cities that are
15 considering installing EV charging for, you know,
16 residential areas with street charging, that all needs
17 work and support.

18 So, I think I'm very much looking forward to
19 participating in programs and guidelines that can
20 develop that as a successful business in the U.S. or in
21 California.

22 MR. OLSON: Very good. So, what I'd like to do
23 now, and on the question -- I'm going to kind of combine
24 question 4 and 5 here. We've talked, I think we've
25 already talked about some of the things you're -- your

1 insights and some of the recommended actions.

2 But what I'd like to do is quickly go through
3 each of the panel members, starting with Andy, and then
4 going around the table here, and I'd like to do it this
5 way for question 4. We're asking, what do you recommend
6 to the Energy Commission, the State of California on
7 government actions that are needed going forward?

8 But I'd like to do this in -- because you
9 touched on some of this already, I'd like you to do
10 this, this way: What are the top two or three things
11 you would recommend to us and, in fact, we'd like to see
12 this in writing to us, too, to not only the panel
13 members, but everybody here that would -- is needed to
14 expand, increase the growth of this area.

15 And then, I'd like you to touch on another
16 topic, just slightly on Number 5, and that's what idea,
17 what kind of key idea do you have to spur private
18 capital? So, using our money as maybe a foundation,
19 what can we do differently that would spur more private
20 investment with that?

21 So, let's try to -- you don't have to go into
22 great detail, just like the top two or three things, and
23 then an idea on the private financing. Andy, first.

24 MR. HOSKINSON: Great. Yeah, so sort of bullet
25 points on this. We just heard that scale's hard to get

1 to and there's a multitude of things that are needed to
2 get to that. Funding, I think is one of the things.
3 It's always part of it. I know we are looking at a
4 future, ultimately, where you need the models to work
5 off that, but we're not there at this point. In fact,
6 we're significantly behind in electric vehicle
7 infrastructure where we need to be.

8 And the more we can leverage the funding earlier
9 I think that that can create momentum for the future to
10 accelerate to the time when you don't need it. That's
11 more important, I believe, in the times we're in because
12 of the waning of that role focus and support toward
13 this. If we're going to achieve cost reductions and
14 we're going to achieve scale, California's going to have
15 to lead more than ever. They're going to have to step
16 up beyond what's been a leadership position and fill
17 some of the void, I think, that's being created there by
18 some of the lack of federal focus.

19 There were -- looking at cost barriers to that,
20 there's quite a bit that the Energy Commission, I think,
21 along with other agencies is already working on. Things
22 such as, I know it seems small, but the difficulty of
23 getting through a permitting process, and the cost of
24 getting through a permitting process.

25 And that, really, truly with some focus and

1 interagency cooperation that the Energy Commission is, I
2 think, promulgating here is something that can be
3 addressed and can help the situation.

4 Looking at the leverage private capital, I know
5 we've seen not private capital, but we've seen the
6 catalyzed capital from other local organizations, CCAs,
7 MPOs. I think that there's that component that we've
8 been able to show that, too.

9 I think taking that model and working with
10 other, possibly automakers, who have a very serious
11 invested interest on targeted infrastructure projects
12 could be something worthwhile looking at, as far as the
13 marrying of certain private capital with the benefits
14 already derived from CALeVIP for instance.

15 MR. OLSON: Okay, Ryan, the same question.

16 MR. HARTY: Sure.

17 MR. OLSON: The top two or three things on how
18 we should deploy our money and then an idea on how to
19 spur more private capital and flow.

20 MR. HARTY: So, I think efforts to make EV
21 charging profitable for the site host and there can be a
22 huge array of things that go into that, between hardware
23 and networking system cost reductions towards, you know,
24 reducing the cost and improving the value for the site.

25 An example of that would be, say, promoting EV

1 charging installation during new construction. So, in
2 our dealer program, we found that installing EV charging
3 at a dealer site is one-tenth the cost when it's
4 designed in from plan to the beginning of the building
5 versus going in and retrofitting the building.

6 And even if you have a situation where there's
7 some other minor electrical work going on, on the site,
8 just the overhead of getting the electrical contractor
9 to the site is a lot of money. So, if there was a means
10 of promoting EV charging installation at the same time
11 as other electrical work. So, for example, let's say
12 somebody's contractor shows up the City of Long Beach
13 permitting desk, looking to install a new circuit to add
14 a new light outside, the cost of also running a new
15 circuit for an EV charging at that time would be, you
16 know, very small compared to if somebody just tried to
17 pull a permit to install an EV charging.

18 And so, kind of trying to tie programs together
19 in an integrated way, to offer an incentive at the
20 municipal permitting desk level and, you know, the
21 electrical contractor level. When they're selling an
22 electrical service to a customer, to be able to say,
23 hey, we've also got the CEC rebate that we can apply
24 here to cover the cost of an EV charging circuit
25 install. Would you like me to do that for you? And

1 just bringing those things together to massively reduce
2 the cost of installing EV charging at residential, MUDs,
3 and worksites I think would go a long, long way. That's
4 all I've got right now.

5 MR. OLSON: Okay. All right, so Shane,
6 switching gears again back to hydrogen, what's your
7 comment there?

8 MR. STEPHENS: Yes, I think, you know, the good
9 news is I think we're doing a lot of things right. I
10 think if I have some recommendations, I would say
11 encourage a scaling up of the infrastructure today. You
12 know, in the first round of stations that we built with
13 you guys, we put the best technology available at that
14 time out there.

15 We've actually invested some of the company's
16 private money to upgrade those stations, to squeak out
17 more capacity, you know, over the years as much as we
18 can. But we're seeing the limitations of that, right.

19 So, I think now we have technology that can
20 scale, and I think we need to encourage investment in
21 that technology. It both, you know, puts infrastructure
22 in place that can support a lot of vehicles over the
23 years, but it also quickens the offramp to subsidies,
24 right? Because a weakened scale is an industry the
25 offramp for subsidies happen sooner.

1 And I think related to that, you know, think ten
2 years out, right. Let's not think three years from now,
3 five years from now. You know, I think there's probably
4 many people at this panel here that can attest to the
5 fact that development of anything in California is
6 difficult. There's a lot of permitting processes. It
7 takes time. You know, frankly, five years go by in a
8 blink of an eye. We started our company six years ago.
9 I can't believe it. You know, so we should be thinking
10 ten years out.

11 And I kind of already alluded to this before,
12 but I think be consistent, right. I think be
13 consistent. And this goes beyond the CEC. I think the
14 CEC has been consistent, right. But I think be
15 consistent in your messaging and a balanced approach of
16 ZEV technologies. Be consistent across agencies, you
17 know, to the extent that we can.

18 You know, follow through on the Governor's
19 Executive Order on ZEV infrastructure to the extent that
20 we can. Right. I think the Governor put out a very
21 balanced Executive Order and then the Legislature was
22 very unbalanced in its approach of how to attack that
23 Executive Order and dealt with it.

24 And then, to transition to the kind point of
25 your question about private investment. I think all of

1 these things will help private investment. And I think
2 it's happening right now, right. So, again, I'll
3 repeat, we're seeing a doubling -- I say a doubling
4 down. It's probably more of a tripling or quadrupling
5 down of private investment in hydrogen infrastructure
6 and the supply chain for hydrogen in the transportation
7 sector.

8 So, I think, you know, we have to continue to be
9 consistent, to be encouraging. If you start to --
10 private investment can get cold feet and start to
11 decrease really quickly, if you start sending mixed
12 signals, right. So, I think those are the keys. And,
13 you know, I think it's a recipe for success. You know,
14 I think we have a lot of the policy mechanisms in place
15 that we need to get hydrogen infrastructure to a
16 successful place. I think we have to use them faster.
17 I think we have to encourage scaling up faster.

18 And, you know, we're always in discussions as an
19 industry to see is there something else in the policy
20 landscape that will also help or that we also need? But
21 I think we're -- you know, we have a couple of really
22 good tools right now and one of those good tools in the
23 Clean Transportation Fund. It's very critical to us
24 and, you know, it's playing a huge role in helping us
25 accomplish, you know, a self-sustaining retail hydrogen

1 infrastructure.

2 MR. OLSON: Okay, very good.

3 Richard, to you have a comment on that, your top
4 kind of two, three things on how we should deploy our
5 money? And then, any comment on private capital.

6 MR. SCHORSKE: Yeah, I think there's a couple of
7 really exciting things that are happening in the finance
8 area. One of them is that as a service, sort of bundled
9 approaches where you have mobility as a service
10 infrastructure, as a service and the like, I'm not sure
11 that the CEC has fully, you know, assessed the
12 implications of those from a grant-making perspective
13 and how to encourage stakeholders to really take
14 advantage of those mechanisms.

15 There's a number of new companies in the space.
16 Amply, Island Electric, In Charge [Canoo] and others,
17 I'm sure are going to be deploying these approaches.
18 But effectively, what they do is spread out the hit on
19 the infrastructure for ten plus years and give folks a
20 chance to really take the most advantage of managed
21 charging, and good service revenues to help finance that
22 infrastructure over a longer time frame, and to levelize
23 the cost of energy, and give more cost certainty at the
24 same time. So, those are really helpful approaches.

25 And, you know, I don't know what the CEC role is

1 here but, you know, I think somebody needs to circle up
2 the transportation agencies in the State and say, you
3 know, if you're going to spend \$5 billion on highways,
4 how about spending \$50 million on EV charging
5 infrastructure, you know, while you're repaving the
6 roads, or whatever the case may be.

7 MR. OLSON: Good recommendation to us, Rick.

8 MR. SCHORSKE: Yeah, right now that isn't just
9 happening consistently and it's absolutely nutty that
10 it's not.

11 And then, on the utility side, I think, you
12 know, to get utilities engaged more with VGI there needs
13 to be just a more holistic kind of market acceleration
14 strategy around V2G and VGI.

15 One example would be an adder in the HVIP for
16 VGI or V2G enablement on both the vehicle side and the
17 charger side would be super helpful. Two-way vehicle
18 charger standards, of course, are proceeding. But, you
19 know, a mandate is under discussion. I think it needs
20 to happen soon. And, you know, it doesn't have to be a
21 higher cost. It really should not be. It's just, you
22 know, at some point it's just going to be a circuit
23 board and not a lot more than that.

24 And then, again, a legislative approach, AB 676,
25 which is still pending, is effectively a flexible load,

1 you know, VGI mandate. And I think CEC could really
2 help inform how that works. I think the legislation is
3 proposed, which has passed the Assembly, I gather, but
4 not the Senate, is -- just kind of punts it over to the
5 CPUC to determine how that should work. And I think it
6 needs to be maybe a multi-agency consideration because
7 it's so important.

8 So, those are some suggestions that are both
9 finance and policy. Thanks.

10 MR. OLSON: Very good.

11 So, Dana, do you have any comments on this area,
12 your top two, three things that --

13 MR. BOUDREAU: Yes. I think just to echo one of
14 the last points that we really need to consider the size
15 of the task. For our region, transportation is about
16 half of our decarbonization challenge and the funding is
17 just not scaling to address that need.

18 So, back to legislation and how do we -- you
19 know, do we tackle transportation funds for highway
20 construction and so on? Just how many roads do we need?
21 Maybe we'll get to that later.

22 This one's a little odd. I'm just going to
23 focus on rural for this one. It's equitability. ADA is
24 a really important, essential societal right, but it's a
25 major barrier for a rural setting where parking

1 infrastructure is extremely constrained. So, I don't
2 know how we fix that, but some examination is needed
3 there.

4 Related to that, CalEnviroScreen is a really
5 powerful tool and it's addressing environmental justice,
6 which is a critical topic, developed over the last 40
7 years or more. But it needs to be applied judiciously
8 because it's precluding disadvantaged communities that
9 have clean environments, of which Humboldt County is one
10 of those. So, if we want to have a broader initiative,
11 we need to use a more broad tool.

12 And then, just the third one that I have here is
13 operating and maintenance costs. Recurring fees are a
14 real challenge. It's pretty much like software's a
15 service. Every month you have a lot of fiscal mouths to
16 feed and that creates a lot of overhead, and it means
17 you have to bring in a lot of revenue in order to
18 maintain the system. And that means that you're only
19 going to be going into dense high occupancy, or high
20 utilization locations, which is not necessarily where
21 you may need to have stations during early roll out.
22 So, perhaps some value engineering on the entire
23 business model would be a useful study area.

24 The DOE did that with their SunShot program for
25 solar installation. So, perhaps replicating some of

1 what they did there.

2 As far as private capital, I've got a bit of a
3 blank on that one. I'm going to need to think about it
4 some more. Just off the top of my head, I think that
5 storage and vehicle-to-grid is going to create new
6 business opportunities that could be very attractive to
7 the private sector. Particularly, when we start rolling
8 out time-of-use rates, which is going to create more
9 dynamic pricing and, therefore, more flexible business
10 opportunities for the immediacy of vehicle storage.

11 MR. OLSON: Okay, very good.

12 And John Schott, your sum up comments on what we
13 should be focused on.

14 MR. SCHOTT: Thanks. The first thing that I'll
15 touch upon has already been first addressed by Andy.
16 But, you know, streamlining of the permitting process.
17 I'll mention that, you know, GO-Biz, just a couple of
18 days ago released an electric vehicle charging station
19 permitting guidebook, a great first step. But, you
20 know, just for example in, you know, some of the initial
21 projects rolled out by the Energy Commission, and CSE,
22 you know, we have customers in Fresno County and
23 Southern California that are ready to give up their
24 projects because they can't get through permitting.

25 Again, you know, these folks are resource

1 constrained. They're not coming from a bad place; they
2 just don't understand it. There's not a lot of guidance
3 to help them through the process. But it is both, you
4 know, slowing down the level of deploying infrastructure
5 and encouraging private investment into EV charging
6 stations.

7 I'll just mention, we had one of the first DC
8 fast charging sites that we completed under the
9 California Corridors project. At the end, near final
10 inspection, we had a different inspector come that told
11 us that we needed to regrade the entire parking lot in
12 order to meet ADA requirements, and it was a \$30,000
13 hit.

14 So, those types of things, you know, make it
15 very challenging and difficult for, you know, companies
16 like ChargePoint. Others, you know, private investment
17 into these areas.

18 The second think I'll mention is demand charges,
19 the operating expenses, which somebody's already also
20 mentioned. You know, we support efforts that are
21 underway, you know, with the CPUC and all the IOUS, and
22 other agencies to, you know, making sure that utilities
23 are designing demand charges and rate that are taking EV
24 charging into consideration. You know, the demand
25 charge rates that we have today they, of course, weren't

1 designed way back when, when they were created. You
2 know, the thing about DC fast chargers. And, you know,
3 right now at the level of adoption that we have in
4 California, although it's great and certainly we're a
5 leader, in the nation, you know, fast chargers are only
6 seeing a handful of sessions a day, at most. And
7 there's just not enough session and utilization activity
8 to be able to afford those monthly demand charges.

9 I think Ryan, you mentioned, you know, the
10 demand charge relief that you guys were provided for a
11 few years. So, things like that are great interim
12 solutions but we need, you know, longer-term,
13 sustainable demand charges to make sure that we can get
14 private investment into electric vehicle charging
15 infrastructure. So, that touches on your second
16 question.

17 The last thing that I would mention specifically
18 on, you know encouraging private investment, again, I
19 know the CALeVIP program, limited resources, there's a
20 lot to do right now. So, you guys need to make certain
21 decisions about how those funds are directed. And right
22 now, the DC fast charger incentives are, you know,
23 directed towards infrastructure that's open and
24 accessible to the public. It makes a lot of sense.

25 In the future, you know, I think we need some

1 incentives for DC fast chargers that can be restricted
2 access, either for, you know, depots and fleets, but
3 also for light-duty fleets. You know, we look at the
4 TNC companies, like Uber and Lyft, you know, we're
5 seeing some traction in those areas where, you know,
6 drivers are adopting electric vehicles. And those
7 companies have programs to help encourage adoption. But
8 they need to make sure they can DC fast charge where
9 it's convenient, where it's convenient, and they can
10 pull up, charge, and then get back on the road so that
11 they can, you know, continue to make a living.

12 So, those are the three things that I'll
13 mention.

14 MR. OLSON: Very good. Okay, so, we're not
15 going to have time to go into detail on all the rest of
16 the questions. We want to give you, each one of you
17 just one -- any additional point you want to make or
18 emphasize very quickly, and then we'd like to go into
19 some public comment.

20 So, let's start with Shane and go around the
21 table, and Richard, you'll be the closer. Any single
22 point that wasn't mentioned, you could go into whatever
23 is, utility integration, or whatever is.

24 MR. STEPHENS: Yeah, I want to encourage the CEC
25 on, you know, I think something you guys have done very

1 well on the hydrogen program over the years, which is to
2 listen to industry and keep that dialogue going. You
3 know, I think we've made tweaks and evolutions to the
4 solicitation process and program. The most recent one,
5 I think, or at least based on what we've seen in the
6 draft solicitation, represents, you know, a pretty big
7 evolution, and it was in response to industry request.
8 So, I think that's extremely important. That's what's
9 helping kind of unlock some of the scale in private
10 investment that you're seeing. So, I want to be
11 encouraging to that and say keep doing that is, I think,
12 a very important thing.

13 MR. OLSON: And Ryan?

14 MR. STEPHENS: Thanks. I think vehicle grid
15 integration, including V2G is one of the most important
16 topics to making both EVs scalable in California,
17 renewable energy scalable in California, and EV charging
18 as a kind of break even or profitable thing for
19 companies to invest in to make that work.

20 And so, accelerating efforts towards adoption of
21 V2G, both from, you know, hardware standards,
22 communication standards, and system integration
23 standards with coordinated efforts between the CEC, the
24 CPUC, you know, ARB with LCFS credit and things like
25 that. Developing an integrated framework towards

1 accelerating V2G is, I think -- would be a tremendous
2 effort, with tremendous impact to California.

3 MR. OLSON: Very good.

4 Andy, what key point do you want to leave with
5 us that hasn't been addressed or you want to emphasize?

6 MR. HOSKINSON: I'm going to emphasize here. I
7 think we've made comments earlier and Ryan just, really,
8 I think spoke to it. First, I want to commend the
9 Energy Commission for already focusing on demand enabled
10 EV infrastructure. You've been pushing the boundaries,
11 I think, of the technology. And I think that needs to
12 continue because it does -- it's what's going to open
13 future business models that I think are going to lead to
14 that scalability we've been talking about.

15 It's also needed because it's going to lead to
16 the customer experience that mass adoption requires.
17 So, I'm going to emphasize that, I think.

18 MR. OLSON: Okay, John, what key point would you
19 like to make?

20 MR. SCHOTT: Yeah, so the one thing I think I'll
21 touch on is, you know, again, the CALeVIP program. I
22 think that is -- the model of that program is the right
23 model to help achieve the very ambitious goals that have
24 been put forth here in the State of California.

25 Of course, there's always going to be a need for

1 more funding, so we'd like to see these great programs
2 continue to be funded, you know, throughout the end of
3 2023 and well beyond that, of course.

4 And it is a great model. I mentioned that we
5 try to replicate that across the country, educating
6 other states that are looking to develop programs of
7 their own. But always thinking about ways in which, you
8 know, we can tweak and make improvements to the program
9 structure to adapt to the evolving EV charging industry.

10 Richard, you know, talked about new business
11 models and, specifically, charging as a service. That's
12 something that ChargePoint has been offering for over a
13 year. We're starting to get a lot of traction with that
14 program and have been doing very large deals with retail
15 customers, municipal customers, and even fleets. You
16 know, thinking about how that can fit into a program,
17 like CALeVIP, where we have customers who aren't
18 purchasing the equipment outright, but they're leasing
19 it and getting, sort of an easy annual payment, kind of
20 a lump sum for the hardware, the network services, and
21 the maintenance agreement that go along with that.

22 And then, also, thinking about how do we, you
23 know, use this program framework that's been created to
24 serve the medium- and heavy-duty vehicles. Again,
25 touched on that earlier. But I think that could serve

1 as a good model for thinking about how to support,
2 again, the ambitious goals that have been set by the
3 State, and the work that CARB is doing with HVIP, and
4 future programs to help provide funding for the
5 electrification of fleets. Thanks.

6 MR. OLSON: Dana, your key point.

7 MR. BOUDREAU: I'm going to play a wild card.
8 One of the things that keeps me up at night is spilled
9 renewable energy. And so, for me, what can
10 transportation do to take advantage of that?

11 Can we co-locate hydrogen electrolyzing
12 equipment at points where we have excess renewables?
13 Can that be used to then power medium- and heavy-duty
14 fleets along corridors? Just an out-of-the-blue
15 concept. So, storage, effectively, to address the duck
16 curve and the intermittent nature of renewables.

17 MR. OLSON: Not so far out of the realm. We're
18 interested in that same topic.

19 MR. SCHORSKE: In the innovative area, I'd
20 suggest a strategy around shared e-mobility as a
21 consistent program emphasis. I know that Envoy, which
22 is one of the models, got into the EA funding pot, and
23 maybe others with CEC as well, in Sacramento and
24 elsewhere. I think that's a super interesting model.
25 It's shared vehicles in multi-unit developments and

1 other places for a roundtrip car share model.

2 And, you know, vis-a-vis the overall Governor's
3 goal or State goal, now, on the 2025, I think an e-miles
4 goal, vehicle e-VMT goal would be relevant to help
5 really target funding for those vehicles that are super
6 high mileage and that carry passengers. Whether
7 they're, you know, transportation network company
8 vehicles, transit, or a school bus, there's a vast
9 difference in funding a charging station for a vehicle
10 that's carrying folks and/or, you know, has 20,000 miles
11 a year versus a lot of light-duty vehicles that are
12 getting deployed, particularly in public fleets that
13 have, you know, single-digit thousands of miles, which
14 is a terrible waste.

15 So, I think, you know, for both HVIP and CEC to
16 be really cognizant of the amount of electric vehicle
17 miles enabled by a particular vehicle application could
18 be super helpful.

19 And then, something that really is more of a
20 strategic approach to shared e-mobility, particularly
21 for disadvantaged and lower income communities. Thanks.

22 MR. OLSON: Very good, appreciate that.

23 Okay, so, Larry, the panel is open for public
24 questions/comments, if anybody has any, or any requests
25 for clarifications.

1 MR. RILLERA: Thank you, Tim and panelists,
2 appreciate your time this morning.

3 We will open up the public comments. We will
4 first start in the room. Very brief comments, if you
5 will, trying to wrap up before 12:00 or so.

6 And then, we will go to WebEx for some comments
7 as well.

8 When you come to the dais, if you wouldn't mind
9 stating your name and your affiliation, and then go
10 ahead and providing your comments. Thank you.

11 In the room, if there's anything?

12 MR. CHANGUS: Jonathan Changus, with the Center
13 for Sustainable Energy. And I can pretend to apologize
14 for taking a second bite of the apple, since Andy's done
15 a phenomenal job already.

16 But an area of emphasis I just wanted to kind of
17 put in there as well, as Andy touched on it, when we
18 think about replicability, I think it's really important
19 that as we have these statewide programs we understand
20 there's not a single solution at the community level, at
21 the regional level. And that's one of the strengths,
22 today, of CALeVIP is the ability to kind of tailor on a
23 regional basis.

24 And that extends, then, into he mentioned our
25 increasing reliance and partnership with community-based

1 organizations and community partners. Because it feels
2 like historically a lot of, you know, marketing and
3 education outreaches one direction we're going, and then
4 we're trying to tell somebody something. Which is an
5 important part when we're thinking about awareness. But
6 it's equally important to make sure that we're
7 listening. And especially if we're talking about SB 350
8 and the barriers particularly faced by low and moderate
9 income, particularly faced by disadvantaged communities.
10 In order to help solve the problems, we need to better
11 understand.

12 And that's where the community partners and
13 having more of a local focus can be incredibly helpful.
14 Such that Redwood Energy's charging needs and solutions
15 are not going to be the same as San Francisco, which may
16 not be the same as Fresno.

17 And so, it's understanding we want many options.
18 There's a lot of flavors. Making sure that we're open
19 to and adaptable to solving those particular challenges
20 at the local level, in advance of the larger statewide
21 goal.

22 So, just wanted to put that comment on the
23 record. And appreciate giving CSE a second chance to
24 make those comments. Thanks.

25 MR. RILLERA: Very good. Thank you, Jonathan.

1 I want to also thank you, appreciate your work over time
2 with NCPA and raising the same thing with, in that case,
3 publicly owned utilities that some large, a lot of small
4 ones, different viewpoints. And you were very helpful
5 in kind of increasing our awareness of that.

6 Yeah, next speaker.

7 MS. TOMIC: Good morning -- good afternoon,
8 Jasna Tomic with CALSTART. So, I will have a chance to
9 speak in the later panel, but I just wanted to emphasize
10 two things that I maybe didn't hear enough today.

11 The first one is with the large deployments of
12 medium- and heavy-duty trucks and buses happening in the
13 State right now, I think we need a really serious,
14 sizeable block grant kind of program to support medium-
15 and heavy-duty electrification. And that would take a
16 span of sort of technical assistance, as well as
17 incentives for the infrastructure as well.

18 Because we're finding that fleets are really
19 having challenges, you know, to understand how to
20 deploy, what to deploy, and they need that sort of
21 support, as well as looking at microgrid options that
22 may support some of these larger deployments.

23 The second thing would be deployment of EV DC
24 fast charging mobility banks that would serve. And I
25 think one of the panelists touched on this a little bit.

1 That would serve TNCs, as well as micro and mini
2 transit, as sort of the last and first mile, or on
3 demand transit, right. So, these kinds of fleets or
4 these kinds of vehicles right now cannot deploy EVs as
5 much because they don't have enough places to charge at
6 a faster rate.

7 And, finally, I would urge everybody to think
8 about as the levels of charging, the power levels of
9 charging for light-duty vehicles are coming up to the
10 levels close to the medium, if not the heavy-duty, so
11 we're looking at 350, and 150, 350 kilowatts for the
12 light-duty. That some of the locations that we are
13 placing charging in public type of charging for light
14 duty, may equally serve the needs of the medium- and
15 heavy-duty vehicles. So, we don't have to keep looking
16 at separately, but then maybe combining this. Thank you

17 MR. RILLERA: Great. Thank you, Jasna, I
18 appreciate your comments. And just a foreshadow, the
19 second panel Jasna will be participating as a panelist.
20 And we will get into the medium- and heavy-duty ZEV
21 vehicle technology investments that the Clean
22 Transportation Program has invested in.

23 Go ahead, please, next.

24 STEVEN BROOKS: Hello, my name is Steven Brooks.
25 I'm with Iwatani Corporation. I'd first like to start

1 by thanking the CEC for these kinds of events, workshops
2 and dialogue. We greatly appreciate it, it's very
3 valuable to us.

4 As some of you may know, we acquired four
5 stations, hydrogen stations earlier this year,
6 previously built by Linde. We'd also like to thank the
7 CEC for all the support you have for these stations,
8 historically. It's definitely been very, very helpful.

9 We'd also like to ask, you know, as we're moving
10 forward, we're considering increasing capacity at these
11 stations. Namely, like Shane discussed, we're having an
12 issue meeting demand and it's become an issue in terms
13 of operability and really meeting customer needs. And
14 we'd like to express a need to the CEC to really
15 consider these kind of capacity upgrades moving forward
16 to really build out the network. Especially, meet
17 capacity, especially as new vehicles come on the road.

18 So, thank you, I appreciate it.

19 MR. OLSON: So, just a comment, Steven, that
20 you're referring to existing stations, meaning our money
21 could be eligible for upgrade -- capacity upgrades at
22 existing stations? Is that what --

23 MR. BROOKS: Correct. And I do know in the
24 draft solicitation concept there is a language in there,
25 as it states now, that there is options for upgrades and

1 capacity. I just think that as these more vehicles get
2 deployed on the road, and in light of recent events
3 where we've seen increased -- you know, increased demand
4 and increased through put that it's a real issue moving
5 forward as these cars get deployed. And it should be
6 considered as something as important, independent of new
7 infrastructure development.

8 MR. OLSON: Very good, appreciate it. Thanks.

9 MR. BROOKS: Thank you.

10 MR. RILLERA: Great, thank you.

11 Go ahead, please.

12 MR. WALLACH: Well, I think it's still morning.

13 Steve Wallach here on behalf of the Center for
14 Transportation and the Environment.

15 I think I want to kind of reiterate some of the
16 comments that you head earlier, regarding like the fleet
17 transitions, particularly for like public transit and
18 the need for infrastructure funding.

19 You know, as they scale up and go just from 5 or
20 10 vehicles to hundreds of vehicles, the real obstacle
21 is the infrastructure. And particularly for hydrogen
22 fuel cell buses, the cost of that initial infrastructure
23 has kind of limited the adoption. But also, that cost,
24 that hurdle, you know, impacts the price of hydrogen.
25 It doesn't lower it. But it also impacts the price of

1 the vehicles because those production numbers aren't
2 there to further the supply chains, to reduce the price.
3 So, we do -- we will follow up with written comments.
4 We'd urge you to maybe include that in future programs.

5 MR. OLSON: Very good. And that's just a --
6 Shane, do you have a comment there?

7 MR. STEPHENS: Well, I was just encouraged to
8 have a discussion on infrastructure. I mean, we frankly
9 haven't heard from a lot of, you know, fleets. But I
10 think there's a real opportunity to build, you know,
11 infrastructure that can -- I don't know if it can be
12 cost competitive, but certainly get into the realm of
13 cost competitiveness for fleets.

14 MR. RILLERA: Go ahead, next speaker.

15 MR. RUIZ: Good morning -- good afternoon.
16 Thank you for the opportunity to have this exchange. My
17 name is Antonio Ruiz and I'm with Nikola Motor. Nikola
18 Motor is a fuel cell electric vehicle, electric trucks
19 manufacturing company that is also bringing
20 infrastructure.

21 I just wanted to echo some of the comments that
22 I heard from our colleagues that there is need for high
23 capacity fueling infrastructure.

24 There's also, for the Nikola business model, we
25 have onsite production. And for that, we're looking at

1 electrolyzing, grabbing hydrogen through electrolysis.
2 That means that the cost of energy, the cost of
3 electricity, specifically, is an issue.

4 So, California tends to be challenged in
5 competing with other states in terms of cost of
6 electricity. That's an area that we would like you to
7 consider more.

8 For us to be competitive, and we need to be
9 competitive, I think we want to look at cost of
10 electricity coming down to the few cents per kilowatt
11 hour. So, wherever there's a renewable energy spill and
12 so forth, it's great to look at it as opportunities.

13 Also, keep in mind that these stations, although
14 they're for heavy-duty deployment, they will also cover
15 light-duty vehicles because there's also a need for that
16 and we want to promulgate some of that as well. Thank
17 you.

18 MR. RILLERA: Great. Thank you, appreciate
19 those comments.

20 MR. OLSON: Yeah, go ahead, Shane.

21 MR. STEPHENS: Just thank you. It's a fantastic
22 comment. And I think, you know, when I was talking
23 about interagency kind of coordination, maybe it's not
24 quite the place of the CEC, but the extent that you can
25 help, you know, deal with the right markets and pricing

1 for things like spillover. I think, you know,
2 electrolysis is probably closer than we all think, if we
3 could just get the electricity markets to work well to
4 actually capture what would otherwise be curtailed
5 renewable electricity. So.

6 MR. OLSON: Yeah, and on that line, we're
7 interested in your comment, your insight, your support
8 for some of these either technology demonstration, or
9 deployment, including things like power to gas. We're
10 very interested in that. We need some feedback on
11 whether that should be a target area.

12 MR. RILLERA: All right, Hannah.

13 MR. OLSON: Yeah, go ahead.

14 MS. GOLDSMITH: Hi, Hannah Goldsmith with the
15 California Electric Transportation Coalition. And for
16 those who don't know, CalETC is a nonprofit industry
17 association made up of utilities, automakers, charging
18 station providers, and others that are supportive of
19 transportation electrification.

20 And I also want to thank the CEC for putting
21 this on today. And agree with a lot of the statements
22 that have been made, this funding is absolutely
23 critical, as we've heard how important these projects
24 are.

25 And I just wanted to speak to a couple of things

1 regarding VGI and V2G. We also are very interested in
2 that and are particularly excited to see the PUC process
3 start this summer to determine and dig into the value,
4 which was discussed today. The utilities, and
5 automakers, and charging station providers are very
6 interested in that, too, particularly that value side.

7 And then, also to Ryan's point about building
8 codes, that was only slightly discussed today, but
9 that's something that we're very actively engaged with.
10 And the Building Standards Commission, and the
11 California Air Resources Board, and I anticipate the
12 Energy Commission will be involved in this as well, but
13 they'll all be looking at increasing the stringency of
14 the nonresidential code for new construction this cycle,
15 which is occurring right now.

16 And one of the things that they're also
17 considering doing is adding requirements for alterations
18 and additions, or particular changes to existing
19 construction on that nonresidential side. So, that
20 could be really important to getting more infrastructure
21 in to support the future installation of charging
22 stations. Thank you.

23 MR. RILLERA: Thank you, Hannah.

24 MR. GOLDSTEIN: Hi, my name's Brian Goldstein.
25 I'm Executive Director of Energy Independence Now.

1 We're the only environmental nonprofit that just focuses
2 on fuel cell electric vehicles and renewable hydrogen
3 infrastructure.

4 We had heavy participation in drafting the
5 initial Hydrogen Highway initiative and have worked
6 closely with the CEC for many years on this topic.

7 So, I'd like to commend the actions of the CEC
8 and specifically in remaining technology neutral, which
9 I think has really helped to provide a level playing
10 ground for a couple of different types of technology,
11 PEV and fuel cell electric technology, which don't
12 necessarily progress at the same speed because it's
13 clearly much more challenging to install a communal
14 hydrogen refueling infrastructure than it is, you know,
15 initial charging stations.

16 But I want to reiterate that. We only have two
17 tools in the ZEV toolbox, right, so it's fuel cell
18 electric vehicles and battery electric vehicles for
19 complete zero emissions. And so, I'm very happy to see
20 that the stance that the Energy Commission has taken
21 over the years in order to, you know, hydrogen fueling
22 and fuel cell electric vehicles an opportunity for the
23 market to develop here in California.

24 So, in California right now, we have more fuel
25 cell electric vehicles than any other place in the

1 world. However, we are behind, actually, in fueling
2 stations and renewable hydrogen production. We're
3 behind several other markets.

4 So, one thing that our organization does is
5 conduct research and analysis on topics like this. And
6 our upcoming bit of research is essentially a financial
7 analysis, an investor's guide to hydrogen.

8 So, initially, we took kind of a poll among
9 member companies from different organizations, like the
10 California Fuel Cell Partnership, the Hydrogen Business
11 Council, and the Hydrogen Council which is a global
12 organization. And the Hydrogen Council, specifically,
13 has about 60 different members representing trillions of
14 dollars in market cap and I believe 4 million jobs for
15 the 60 member companies of this organization.

16 So, the poll that we took was what type of
17 investment were they looking to put into California?
18 And we made an initial list of ten different companies
19 that have expressed interest. Some that you've heard
20 from here today, and some that you all are probably very
21 familiar with.

22 So, the first three companies that we went out
23 to speak with, and we asked specifically, you know,
24 what's your investment outlook? How much money are you
25 looking to put into this space in California, in the

1 next two to five years. We're going to go through ten
2 companies. The first three totaled \$1.2 billion that
3 they're looking to invest in the California market right
4 away. We stopped at that point because we knew this is
5 a -- you know, this is a huge investment opportunity to
6 attract investment in this space from other companies
7 from around the world.

8 It's the work that the CEC has done to help
9 create this market, to open up the market and to attract
10 these investors. That is about to facilitate a huge
11 level of infrastructure investment in California.

12 So, we'll submit some written comments about the
13 specific areas of infrastructure investment we think
14 will help unlock some of these investment dollars. But
15 I want to let you know that the CEC isn't alone in the
16 investments that you're making here. I think Shane
17 alluded to this earlier. It really is, you know, a
18 gathering storm, so to speak, of support for the fuel
19 cell industry here in California.

20 So, thank you for the work you've done in this
21 area and we're really looking forward to seeing it
22 mature in the coming years.

23 MR. RILLERA: Thank you, Brian. And to the
24 extent you're willing to have that surveyed result
25 placed in our docket, we're interested in that, too.

1 MR. GOLDSTEIN: Okay, all right.

2 MR. RILLERA: Or summarized somehow, that --

3 MR. GOLDSTEIN: We'll certainly put a summary
4 together for you.

5 MR. RILLERA: All right, thank you, Brian.

6 Any more comments from folks in the room?

7 MR. ELRICK: Tim and group. Thank you for the
8 opportunity today. I think this was a very valuable and
9 interesting discussion. I want to focus just a few
10 comments that I believe high level will reflect and
11 reinforce some of the --

12 MR. OLSON: Excuse me, Bill, could you introduce
13 yourself, please?

14 MR. ELRICK: Oh, thank you. Bill Elrick,
15 California Fuel Cell Partnership. My comments, really,
16 I think will reflect and reinforce some of what we've
17 heard already on both technologies.

18 The first is aligning the State's activities and
19 goals. You know, the slides 9 and 10, I see here on the
20 screen, bullet number 7, and even some of Tim's
21 comments, it's very important and good that we're
22 referencing the State's long-term goals, and
23 specifically mentioning the 5 million ZEVs. It gives
24 directions to staff. It aligns the activities with
25 those goals, and it sends a clear signal to the industry

1 side of this on where we want to be.

2 That's on the page pretty clearly, and here it's
3 also reflected that hydrogen isn't reflected with the
4 same, long-term references towards these 5 million ZEVs.
5 I think that's an important piece.

6 Looking at how we're trying to do this, another
7 thing on slide 10, I saw that it illustrates our
8 market's approach to analyzing the current networks
9 directly, aligning the vehicle deployments and the
10 capacity served to the spending, the self-sustaining
11 market potential, and government's exit strategy. So,
12 all of this is very important for us to align all of our
13 ZEV, and really any money the State spends towards an
14 end goal of success.

15 The second comment I have is around the
16 recommended funding objectives you mentioned. I have
17 two comments here. The first is that all the State's
18 money and actions asks for long-term, self-
19 sustainability projections for the awardees. Again,
20 what are we trying to achieve and how are we going to
21 get there? Because if we're not actively addressing and
22 working towards an exit strategy for subsidies, we're
23 not actually actively working towards that.

24 So, you know, I'd like to start by formally
25 submitting this, our market self-sustainability vision

1 for 2030, and encouraged to see more of that across the
2 board.

3 And then, the second recommended funding
4 objective is to continue, as you've done, to provide the
5 long-term, durable policy framework for everyone to
6 follow. This gives the appropriate signals both to
7 staff, and to industry. And for industry, we just
8 talked about it gives confidence in unleashing and
9 unlocking that private investment that we need for
10 market success and, again, government removal of
11 subsidies, which should be our end goal.

12 And then, the last comment I will make is on
13 grid integration and the larger renewable energy
14 transition. Simply put, we need to encourage and
15 incentivize the integration of hydrogen electricity, the
16 two energy carriers that enable zero emissions, and we
17 need to not penalize them.

18 And I think CEC's role is especially important
19 here because of all the different programs and
20 activities that line all these up and start in
21 encouraging and engaging across all the different
22 activities for this kind of discussion.

23 You know, this will not only expand and quicken
24 the renewable hydrogen network development that we're
25 looking for, for light- and heavy-duty vehicles, it has

1 the added benefits of a more reliable grid. It will
2 deepen the renewable penetration capabilities, and it
3 will open up new and difficult markets through the
4 renewables, such as industrial and manufacturing.

5 So, again, CEC's role in this is really more
6 critical than -- or probably are one of the leading
7 agencies throughout the State on this.

8 So, with that, I'll thank you for the
9 opportunity and look forward to more interesting
10 discussions to come.

11 MR. OLSON: Bill, just one question. Is your --
12 is this also referred to as your roadmap, or is that a
13 different -- is your roadmap ready to be publicly
14 included in, say, a public docket?

15 MR. ELRICK: Absolutely. And I'll say, we refer
16 the roadmap to the first really seminal document we
17 produced, which was 2012, which was how do we start the
18 market? Looking at that first 100 stations target and
19 getting things moving.

20 This, we call the vision document. And that's
21 definitely, formally there. And it is answering the
22 question of what a successful market looks like that
23 gives value to the State, and the environmental benefits
24 that we're seeking, the subsidy withdrawal that I think
25 we're all looking for. Profit, so we can have private

1 investment on the industry side. And, most importantly,
2 ZEV technology at a cost competitive rate for the
3 consumers, which is how we're going to drive adoption
4 and get to those end goals.

5 MR. RILLERA: Great. Thank you, Bill,
6 appreciate your comments.

7 We will now shift to comments, brief comments
8 online. Sara Rafalson.

9 MS. RAFALSON: Yes, hi, this is Sara Rafalson.
10 Can you guys hear me?

11 MR. RILLERA: Absolutely.

12 MS. RAFALSON: Okay, great. This Sara Rafalson.
13 I am Market Development Director at EVgo. And just
14 first wanted to echo one of the previous comments and
15 thank the Energy Commission for both the opportunity to
16 provide comment remotely, wish I could be there today,
17 but also for their work on transportation
18 electrification.

19 I think, in particular, I just wanted to
20 highlight and echo some of the comments from the first
21 panel on CALeVIP, which has been really important for
22 catalyzing investment not only in Level 2 chargers, but
23 in EVgo's case, DC fast chargers.

24 And, in particular, I wanted to give some kudos
25 to Brian, from the Energy Commission, and Andy from CSE

1 for their thoughtful approaches to program design.

2 So, we've got about 1,200 fast chargers across
3 the U.S. Over half in California. And a lot of that is
4 thanks to strong public policy here in California, and
5 programs like those with the Energy Commission.

6 In the past quarter, alone, we installed about
7 100 DCFCs, and we'll have about 150 more deployed by the
8 end of the summer.

9 And like many of the earlier panelists, too, we
10 also participated in the CEC Corridor Program. But I
11 agree with John that I think a model more like CALeVIP
12 really helps increase velocity. And we look forward to
13 future participation in CALeVIP in subsequent years.

14 Just one of the challenges that I wanted to
15 highlight, and I agree with a lot of the challenges that
16 were brought up earlier on just infrastructure
17 deployments. But one, in particular on CALeVIP, and
18 Andy actually highlighted this, is that funding more or
19 less closes shortly after opening. And then, it takes
20 some time for projects that might fall out, due to
21 permitting, which was mentioned earlier, or other things
22 to kind of fall out of the queue as they're given time
23 to meet certain development milestones.

24 And, I mean, this is a very familiar challenge.
25 Many of the early generation energy programs have

1 experienced similar program design challenges. And I
2 just think on this one hand this is really great demand.
3 That's the program more or less as we go 48 hours.

4 But on the other hand, I just think it would be
5 good, from a program design perspective at why that it
6 is. And as there's more data on project attrition, I
7 think it will be important to look at that.

8 Last, and I know it's been top of mind for other
9 panelists, as well, we agree that cracking the code on
10 the multi-unit dwelling segment is really challenging.
11 But I do want to acknowledge that Level 2 at apartments
12 is certainly one solution. But also wanted to
13 acknowledge the role of public charging, and serving the
14 segment of MUD residents, and EV drivers, including
15 myself, who can't access some charging.

16 And I think last, other than that, just wanted
17 to again congratulate Brian, Andy and the team for the
18 good success of CALeVIP and just express our
19 appreciation of their work. But also, endorse a bigger
20 statewide CALeVIP program. And we look forward to
21 engaging with the Energy Commission on future
22 stakeholder discussions and workshops on program design
23 to ensure more rapid buildout of chargers. So, thanks.

24 MR. RILLERA: Great. Thank you, Sara,
25 appreciate your comments.

1 Our next commenter online is Wayne Leighty.

2 MR. LEIGHTY: Yes, hello. Can you hear me?

3 MR. RILLERA: Yes, please.

4 MR. LEIGHTY: Hi, I'm Wayne Leighty. I'm a
5 Business Development Manager with Shell Hydrogen. Also,
6 a decade ago at UC Davis, my graduate studies was on the
7 transition paths we're talking about, now.

8 I would offer to add to this good forum, the
9 observation that we're now 30 years since the California
10 ZEV Mandate was established, which means we have 30
11 years remaining to achieve 2050 emission reduction
12 goals.

13 I think the first 30 years have established a
14 very strong foundation of readiness. Technology
15 becoming products, becoming industry, and investment
16 readiness, and policy frameworks become programs that
17 have established momentum.

18 It seems, then, that our challenge is to
19 accelerate and scale. I think there's very good news
20 there. There are virtuous cycles in cost reduction, in
21 unlocking more compelling customer value propositions.

22 On the hydrogen side, for example, it gets
23 easier and it gets lower cost as we get larger. So,
24 that's the good news.

25 We have been working, I would echo some of

1 Shane's good comments, in a very collaborative,
2 productive way on the pivots in policy that helped
3 unlock that next step in acceleration and scale.

4 The capacity credits, as they're called, the
5 hydrogen refueling infrastructure, and also for DC fast
6 charging, and the Low Carbon Fuel Standard that was
7 adopted by the Air Resources Board rulemaking last year,
8 and in the solicitation concept from the Energy
9 Commission to tweak the funding opportunity on hydrogen
10 into a multi-year, and network-based kind of program are
11 examples.

12 I think our focus really should remain, also, on
13 the customer side, early majority and mass market
14 adoption, whether we're talking individuals or fleet
15 owners. It's about this value proposition that
16 continues to be enhanced. Things came up that were very
17 good today. Workplace charging. You know, hydrogen
18 refueling, et. cetera
19 some elements of exhilaration and scale.

And I thin

20 I would just close by giving some encouragement
21 that at Shell we are developing the full range of new
22 fuels, renewable natural gas, or CNG vehicles, renewable
23 diesels and other biofuels, charging. And then, my role
24 within this company is hydrogen.

25 So, echoing some of Shane and Brian's comments,

1 in hydrogen in particular, Moore's Law is a powerful
2 thing. We see the hydrogen station cost being reduced
3 in half and capacity being doubled every two to three
4 years. That means that gasoline parity is possible and
5 in our sites. It means we're already cost competitive
6 with a fast charge, a 60 kilowatt or higher kind of fast
7 charge, while the hydrogen station is about 3,000 or
8 more kilowatts.

9 And at this moment when production capacity is
10 being demanded, it's tipped toward renewable and load to
11 negative carbon intensity.

12 So, here's a new energy industry for California
13 that's just getting started, that gets to start from
14 scratch, and gets to start done right in the sense of
15 low and negative carbon intensity.

16 So, I would say bravo to the success to date.
17 Importance to continue it, to sustain the momentum and
18 emerging demand that's been established. And the key is
19 pivoting to scale. That's an amazing thing in that the
20 major infrastructure initiative is starting, leveraging
21 millions, hundreds of millions, perhaps, of public funds
22 for billions, tens of billions of investments. It means
23 that fundamentally California's somewhat challenging
24 cost environment is also a key focus. Thank you very
25 much.

1 MR. RILLERA: Great. Thank you for your
2 comments, Wayne.

3 We will now go to Stephen Ellis. Stephen Ellis
4 and you will be our last commenter.

5 MR. ELLIS: Okay, great. Hi, this is Steve
6 Ellis with American Honda Motor Company. And glad to be
7 able to offer some supporting comments and certainly
8 support the comments earlier by Ryan Harty. Certainly,
9 Shane and now, of course, Wayne and others toward, you
10 know, both plug-in and hydrogen refueling
11 infrastructure.

12 After all, I think, you know, we hear very often
13 now transportation's representing 50 percent of the CO2
14 emissions, carbon emissions toward climate change. And
15 of that, clearly, there are two light-duty solutions
16 available for the public.

17 And now, you know, that Honda has had the
18 Clarity out into the market in three different power
19 trains, plug-in electric -- I'm sorry, the plug-in
20 hybrid, the battery electric, and hydrogen fuel cell.
21 We hear very often from the customers appreciation for
22 the ability to have choice. Choice toward driving near
23 zero to zero emission vehicles that meet their needs.
24 And hence, that's the focus of my comments here.

25 Certainly, want to encourage CEC to continue

1 working with industry and within State government,
2 especially, to remove hurdles and barriers within the
3 State. For example, with AB 8 funding limits for the
4 annual hydrogen station funding. After all, you have
5 heard from others that we are behind in the number of
6 stations that can support the vehicles on the road.

7 Certainly, one of my roles at Honda is, you
8 know, stay in touch and interact with our customers.
9 And speaking on behalf of those taxpayer customers
10 driving the Clarity fuel Cell, that they are certainly
11 puzzled why the station growth is as slow as it is. And
12 so, we know that some of these limitations with the
13 funding are a part of that.

14 So, while we're very grateful and appreciate the
15 work of CEC and, of course, funding, helping to support
16 funding for the stations, we'd like to see that
17 accelerate even more.

18 Winding up here a little bit, you know, just as
19 there's been discussions about time-of-use rates, you
20 know, for plug-in charging infrastructure, I'd ask that
21 you also work closely with PUC and please accelerate and
22 implement, you know, similar rate strategies for the
23 hydrogen stations electric loads that they will utilize.

24 Because we do, as Wayne said so well, want to
25 see a continuation of cost reduction for the hydrogen

1 available for the vehicles. Customers expect that. And
2 the electric loads can be a part of that.

3 So, I think as you've talked about parity, there
4 should be parity because both of these uses of the
5 electrons work to enable more zero emission vehicles
6 into the market and help the State to achieve its carbon
7 and CO2 reduction goals.

8 So, again, I just want to thank you for the
9 continuation of your good work and learnings along the
10 way that you keep applying. Shane mentioned earlier
11 about the importance of listening to industry. And
12 certainly, I know I've been one of those voices. And
13 appreciate those things that you implement when we do
14 speak.

15 And last, just for hosting this workshop and
16 providing additional opportunity to hear the voice of
17 industry and other supporters. So, thank you.

18 MR. RILLERA: Great. Thank you, Steve. I
19 appreciate your comments and your representation of
20 American Honda.

21 We are going to break for lunch right now. I
22 want to thank Tim Olson for moderating the panel, and
23 the panelists for your participation this morning.
24 Thank you.

25 (Applause)

1 MR. RILLERA: Whoops, one more thing. I know we
2 have identified here 1 p.m. I think we'll go to 1:45 --
3 excuse me, we will reconvene at 1:15. Thank you.

4 (Off the record at 12:26 p.m.)

5 (On the record at 1:20 p.m.)

6 MR. RILLERA: All right, welcome back everybody.
7 We will now have the Panel 2 of the staff workshop for
8 the Clean Transportation Benefits Report and Successes
9 for the 2019 IEPR.

10 At the table we have Kent Leacock of Proterra,
11 Morgan Caswell from the Port of Long Beach, Jannet Malig
12 from Cerritos Community College District, and Jasna
13 Tomic from CALSTART. Ben DeAlba will be moderating this
14 panel.

15 On the screen, you have the list of
16 representative projects for the workshop that we will be
17 discussing today. And I will tee up questions,
18 questions that the moderator will ask of our panelists.

19 Okay, then, go ahead.

20 MR. DEALBA: All right, thank you, Larry. And
21 welcome to the panelists. We really appreciate you all
22 coming a long distance, some of you, to be here today to
23 talk about zero emission technology, vehicle technology.
24 Particularly, we're going to focus on medium- and heavy-
25 duty vehicles, specifically.

1 I just want to preface by sort of giving some
2 weight to the importance of this conversation. We have
3 a new Commissioner here, at the Energy Commission,
4 Patricia Monahan, who is very interested in how to
5 advance the medium- and heavy-duty sector. I think that
6 she understands about the opportunity that's there.

7 And so, I want to just put that out here because
8 whatever we hear today is certainly going to be taken
9 note of and inform a lot of the programs that we do here
10 at the Energy Commission. So, again, we thank you so
11 much for all of you being here today.

12 With that, I'm going to allow each panelist a
13 five-minute introduction. Introduce yourselves, your
14 organization, and your role in the zero-emission medium-
15 and heavy-duty sector.

16 And then, as Larry pointed out, we'll go through
17 of each of the questions that we have up on the slides,
18 and have a bit of conversation and dialogue about them,
19 as all of you have got rich knowledge in the medium- and
20 heavy-duty sector, whether it's manufacturing, actual
21 deployment, or an operator, or in workforce training.
22 So, I think we're going to have a very rich conversation
23 here, so thank you.

24 So, I'm going to start. Well, after we do the
25 comments, then I'll have everybody do closing remarks

1 and we'll hold public comment until later in the
2 workshop.

3 So, we'll go, just start to my left. Kent, you
4 want to take it away.

5 MR. LEACOCK: Okay. I don't want to do too much
6 background because of the introduction, because of it
7 leads to some of your questions up there.

8 But name's Kent Leacock. I'm the Senior
9 Director of Government Relations and Public Policy for
10 Proterra, the leading electric bus manufacturer and the
11 leading U.S. bus manufacturer.

12 And Proterra is located, our corporate
13 headquarters are in Burlingame, California where we
14 manufacture battery packs, and we have our R&D center.
15 We also have a factory in Southern California, in the
16 City of Industry, where we manufacture buses, as well as
17 our original factory in Southern California -- I mean,
18 in South Carolina, in Greenville, South Carolina, where
19 we manufacture buses.

20 As I mentioned, I'm in charge of government
21 relations and public policy. And what that entails is I
22 spend a lot of time advocating on behalf of
23 transportation electrification policies from the
24 perspective of funding, as well as policies with utility
25 commissions across the U.S., and utilities. Advocating

1 to have utility commissions around utilities to build
2 our infrastructure on behalf of transits, and other
3 heavy-duty fleets. For example, port opportunities, et
4 cetera. With the unique twist that, on the transit
5 side, because transit agencies are nonprofits and they
6 generally operate at a loss, and they're in existence
7 because of federal, state and local funding that they
8 should get the ability to have the infrastructures
9 rolled out by the utilities, and rate-based on their
10 behalf.

11 As well as, what some of these utilities like to
12 call a business development rate should be offered to
13 the transit agencies as they transition over to
14 electrification, to allow them time to secure data, and
15 kind of rate monthly rates, and understand their bill.
16 Because, you know, previously it was a pretty straight
17 forward thing with them. But now, with electrification,
18 they need to move into a completely different class of
19 customer. And there's a lot that they don't understand
20 about the rate process. You know, they never knew what
21 demand charges were until they started charging electric
22 buses at high rates.

23 And there's a lot of other aspects of
24 electricity that they didn't understand, that many of
25 them do now. And, in fact, you know, it's interesting

1 how far ahead California is.

2 And so, you know, as I said, one of the other
3 things I do is I travel around the country speaking at
4 utility commissions, and attending NARUC, National
5 Association of Regulatory Utility Commissioners, to try
6 to get them to pay attention to the heavy-duty sector.

7 The passenger vehicle market, you know, the
8 Teslas of the world, the Nissan Leafs, and BMW I3s and
9 I8s, that's all the sexy aspect of transportation
10 electrification in passenger vehicles.

11 But, you know, what we're trying to get them to
12 understand and pay attention to is that the heavy-duty
13 sector, fleets, goods movement at ports, et cetera, has
14 the ability to have a much greater impact on diesel
15 particulate matter, greenhouse gases, and it is a much
16 more stable, predictable, and knowable load because
17 those vehicles will have to charge at the same time day
18 after day, week after week, year after year. And it's
19 guaranteed because they have to run every day.

20 Unlike the passenger vehicle market where, you
21 know, they may or may not charge at work, they may
22 charge in the middle of the day, they may not need to
23 charge a particular night. These fleet vehicles run
24 every day. They're the highest kind of polluters and so
25 conversion to them in the electricity sector, into

1 electricity is going to be the most beneficial bang for
2 your buck in terms of, you know, the population that
3 lives around there, the population as a whole, and
4 towards grid stability as well.

5 MR. DEALBA: Great. Thank you so much, Kent.

6 We're going to move on to Jasna, of CALSTART.

7 MS. TOMIC: Sure. Good afternoon. So, my name
8 is Jasna Tomic. I'm Vice President at CALSTART. And
9 CALSTART is a nonprofit organization that has been
10 around for 27 years, focusing specifically on advanced
11 transportation technologies and solutions.

12 And we work across four different sectors, cars,
13 buses, trucks, trucks and off-road equipment, and fuels.
14 But I will say our biggest line of work, the majority,
15 about 80 percent of our work right now and in the recent
16 years, has been in bus and truck, and off-road
17 equipment. It's where our strongest programs at the
18 moment are.

19 And that is sort of reflective of what Kent was
20 nicely mentioning, you know, the need of fleets, and to
21 decarbonize and to drop their carbon footprint overall.

22 So, over the years we've done a number of
23 projects that start -- again, specifically in medium-
24 and heavy-duty. We work across from technology
25 development, you know, just early demo type of projects,

1 to bigger pilot projects, and then extending them into
2 the precommercial and commercial markets. So, that's
3 kind of the space where we work the most and the best,
4 really, and putting private/public partnerships together
5 to accelerate that market across the board.

6 Some of the entities we've been working with
7 include all the large fleets across the State, UPS,
8 FedEx, Pepsi, Coke. And then, from the manufacturer
9 side, again we work with all of a variety of the heavy-
10 duty, medium- and heavy-duty supplier base on both buses
11 and trucks.

12 So, this is just -- I'd just like to emphasize
13 Kent's comments on this, as we're all focused sort of on
14 looking, and how do we decarbonize and how do we drop
15 the carbon footprint from transportation. The dual
16 thing that makes this medium- heavy-duty sector really
17 attractive is, one, it serves all. Everybody benefits
18 from it because all communities equally benefit from
19 cleaner trucks and cleaner buses in their communities.
20 So, it's much easier through that sector to address sort
21 of the disadvantaged communities issue that we all try
22 to make sure are included.

23 And second, per, yeah, per bus and per unit
24 they're definitely a larger emitter. And I guess,
25 third, you've got fleets that you work with, so you can

1 actually come down to a reasonable calculation of a
2 total cost of ownership, and make sense of it so that it
3 can get implemented in a faster and more efficient way.

4 And I'll be happy to speak along, as we go
5 through the other questions, you know, what are some of
6 the successes that have happened over the years. We are
7 very grateful to the many projects that we have had
8 funded from the California Energy Commission, and that
9 has been in this space of medium- heavy-duty, but
10 outside of that, as well infrastructure. And then I
11 think I'll just wait to hold off on my other comments
12 regarding kind of the next steps. Thank you.

13 MR. DEALBA: Great, thank you so much.

14 We'll move on to Jannet, Cerritos Community
15 College District.

16 MS. MALIG: Good afternoon. I'm Jannet Malig
17 from Cerritos Community College District. I'm am
18 actually the -- the official title is the Statewide
19 Director for the Community Colleges System.

20 Our main focus is workforce development. It is
21 specific in the area of clean energy, clean
22 transportation. We're now called advanced
23 transportation and logistics.

24 Our main focus is to really look at the
25 opportunities of what is the workforce demands and the

1 skills gaps that are needed today, and what it will look
2 like in the future.

3 And, you know, we've been very lucky, again,
4 through funds that we've gotten from the CEC to really
5 work with medium- heavy-duty and, actually, work all the
6 way down to the high school and build a pipeline. So,
7 we've been able to train and convert workers on the
8 technology, so they feel much more comfortable.

9 And we're then able to work with the community
10 colleges, because we have 115 community colleges in the
11 State of California. So, that means we have a great
12 opportunity to meet the demands and have everyone at a
13 much younger age, at like high school level, as part of
14 one of the grants that we have here, to be familiar with
15 electric vehicles, or in their eyes, or the way that
16 they see it and be very proactive in looking for it, and
17 want it in their own communities.

18 And we've especially seen it in a lot of
19 disadvantaged communities where the air quality isn't
20 good. They're eager to do it. And the job market, and
21 the job opportunities, and the skill sets are being able
22 to meet those demands.

23 So, by working with, you know, transits, fleets,
24 municipal fleets, we're able to identify immediately
25 what are those skills gaps and be able to develop

1 curriculum and train them immediately with that. So,
2 we've been very lucky from workforce development, for
3 incumbent worker, working with community colleges to
4 design and develop curriculum. And then, be able to
5 build a future workforce at the high school level.

6 So, you know, thank you for that, for us.

7 MR. DEALBA: You're welcome. We're happy to
8 have you as a partner.

9 And next, we'll go to Morgan, of the Port of
10 Long Beach.

11 MS. CASWELL: Hi, I'm Morgan Caswell. I'm an
12 Environmental Specialist at the Port of Long Beach. I'm
13 specifically on our Air Quality Team.

14 So, I'm responsible for the implementation of
15 the Clean Air Action Plan, along with my other air
16 quality teammates. Specifically, I focus on grant
17 demonstration projects at the port. I manage grant
18 demonstration projects at the Port, including one that
19 was funded under the Clean Transportation Program. I
20 also focus on vessel emissions. We have various
21 strategies for all of our sources of emissions at the
22 Port. And then, I work on other air quality programs
23 that we have.

24 I want to give you a little bit of background
25 about the Port of Long Beach because I think, as the

1 Port, we have to do a lot of educating on what our
2 impact is, how we operate. So, we, between the Port of
3 L.A. and the Port of Long Beach, bring in 40 percent of
4 the nation's goods. So, we have a significant
5 footprint. And our sources of emissions include
6 terminal equipment, trucks, locomotives, harbor craft,
7 and the vessels.

8 Today, we'll talk mostly about trucks and the
9 terminal equipment. But I just want to recognize that
10 we know that we have a significant impact on our local
11 community and their health. Folks who live close to the
12 ports have greater risk of cancer. They have greater
13 risk of asthma, respiratory disease, cardiopulmonary
14 disease. And we are actively working towards reducing
15 that risk and eliminating the contribution that comes
16 from the ports.

17 So, the way that we're doing that was really
18 started in 2006. Between the two ports, the Port of
19 L.A. and the Port of Long Beach, we came together, and
20 we developed the Clean Air Action Plan. And this is a
21 plan that outlines our strategies to reduce emissions
22 from port operations.

23 We've since then had two updates. And in our
24 latest update, the ports declared new goals for us,
25 which include zero emissions terminal equipment by 2030,

1 zero emissions trucks by 2035, those that are registered
2 in the ports' drayage truck registry. And we have green
3 house gas goals, now, which include reduction of 1990
4 level greenhouse gases to 40 percent below 1990 levels
5 by 2030, and 80 percent 1990 levels by 2050.

6 So, I do want to highlight that, you know, the
7 CEC has played a major role in advancing technology down
8 at the ports. And I'm really glad to be here to talk
9 about that today. I think what's unique about this
10 program is that it really goes after different aspects
11 of this transition to zero emissions, whether it be
12 workforce, or the planning process that goes into, you
13 know, cost effectively deploying new equipment, and then
14 actually demonstrating the equipment so that it can
15 advance to a place where it's equivalent to diesel while
16 in there.

17 MR. DEALBA: Very good. Thank you very much.

18 Okay, so, we'll move into the question phase of
19 the panel. And I think the first question I want to
20 start with Jasna. And it reads: How have your Energy
21 Commission projects moved the needle for ZEV markets.
22 And I want to start with you, Jasna, because CALSTART
23 has been an instrumental player in, one, helping with
24 the beachhead pathways theory, and philosophy, and
25 working with other State agencies. So, you've got a

1 very universal knowledge of seeing all these projects
2 unfold. So, I'm going to look to you to help set the
3 stage and maybe just touch on number one, as well. And
4 then, feel free, we can all chime in.

5 MS. TOMIC: Great, great, thank you. Thank you.
6 When we were discussing the panel, I was glad to see you
7 use the term beach way pathways. And I'll speak to it a
8 little bit. So, beach way pathways addresses --
9 basically, it's a term, I think, used in the military.
10 It's the first beachhead markets or in the market
11 acceleration business as well, that you want to launch
12 your product or that you want to sort of get out, first,
13 right.

14 So, when we look at the whole sector of medium-
15 heavy-duty, not all vehicles are equal in terms of
16 timing, getting to the market. Buses are definitely
17 ones that are earlier and sort of ahead of the game, but
18 they lead the pack and set the stage for the other
19 vehicles that come along.

20 That next in line would be the medium-duty or
21 delivery vehicles. So, we've segmented them according
22 to the different applications, right. Transit buses,
23 medium-duty delivery vehicles, then larger, regional
24 delivery vehicles, et cetera, as we go along that to
25 come to the over-the-road trucks, which are sort of the

1 big emitters, but maybe a little bit harder to electrify
2 at this very moment.

3 So, going specifically back to your question of
4 how did some of this California Energy Commission
5 funding help promote these, I will come back to a very
6 interesting and important program that we had funded
7 from the California Energy Commission on clean trucks.
8 And then include, I think it was a total of nine
9 projects. It was an envelope with nine projects. It
10 included Proterra bus, the first one in Stockton that
11 was -- back then, remember?

12 MR. LEACOCK: Yeah.

13 MS. TOMIC: Yeah. So, that was one. It
14 included a Volvo plug-in truck. It included the Odyne
15 plug-in utility truck, Motiv electric vehicle,
16 TransPower, Artisan. I think I have them, most of them.

17 MR. DEALBA: I've got them here, so Caterpillar.

18 MS. TOMIC: Caterpillar. A Caterpillar
19 excavator and Volvo wheel loader.

20 MR. DEALBA: Exactly.

21 MS. TOMIC: Right. So, a mixture of buses,
22 trucks, and medium-duty, and those were all pretty much
23 first of their kind, right. Developed with the help of
24 this funding and first, it was one-two in each case, at
25 the most. The first of their kind to sort of

1 demonstrate the technology with the fleet in use. And
2 that was super important, very important to get that
3 going. That was an example of public/private
4 partnership.

5 Those projects definitely set the scene, I will
6 say, for future things and future projects that came
7 after that. I will just speak to the Proterra example,
8 I'd say, with Stockton. And then we followed up with
9 some FTA funding later, and they had seven buses. They
10 had more than seven, maybe, but seven.

11 Yeah, so, from that one it expanded to seven.
12 And we completed that project just last year, actually.
13 So, they are now analyzing how do they electrify, you
14 know, their fleet completely. How do they go and
15 satisfy the zero-emission transit rule with -- and this
16 project set the scene for them.

17 I will name another one, the Caterpillar
18 excavator, which basically became -- it was a hybrid
19 unit. Caterpillar basically made it a production right
20 after.

21 The Volvo wheel loader, similarly. The plug-in
22 Volvo truck has now -- was, essentially, the predecessor
23 for what is, today, going to be the -- well, soon, going
24 to be the Volvo all-electric truck under the Volvo
25 Lights Project, funding by Azanza (phonetic), from

1 California Energy -- from California ARB funds.

2 So, my point is these are instrumental and very
3 important things. And I think the money from the Energy
4 Commission definitely supported sort of the first units
5 coming out, and then it continued support after those.

6 I have a list of things that we have continued
7 since, definitely in the bus world. I just wanted to,
8 you know, put an overall look on it.

9 And last, but not least, from these beginning
10 steps of initial funding, I wanted to say that this
11 beachhead market has now developed into a global
12 program, actually, called Drive to Zero Program, which
13 is looking to how to electrify not only California, and
14 not only the regions and cities in California, but
15 basically across the globe, Canada, China, Asia, South
16 America, Europe, and to find the initial markets where
17 we can do similar programs. Electrify buses, electrify
18 trucks, either at the ports, or somewhere, and then grow
19 the market from there. So.

20 MR. DEALBA: There was a lot of mention of
21 Proterra in that project with the buses. Thank you,
22 Jasna, that was a very good overview and in-depth look
23 at some of your projects.

24 Now, Proterra, obviously, you're very focused on
25 buses. And, you know, we haven't really touched much

1 either on the difference of the technologies that we're
2 talking about here, in zero-emission vehicles, but I'll
3 just let you chime in. Do you have any other thoughts
4 on some of the projects that were part of the CALSTART,
5 especially the one that was in Stockton, and seeing some
6 of those maybe unfold into next generations of your
7 buses?

8 MR. LEACOCK: Yeah. And, in fact, that Stockton
9 project was -- I'll say that was back when we were a
10 South Carolina company that its first two customers were
11 in California, of which Stockton was one and Foothill
12 Transit was the other. That was our -- I'll just say
13 it's our generation 1.5, first, you know, series of
14 battery electric buses that we built. And those buses
15 were built virtually by hand. That was back, I want to
16 say, what was that 2009, 2010, 2011. Maybe we started
17 building it in '09 because it probably took almost a
18 year to build the bus, or a year and change, quite
19 frankly.

20 So, anyway, what I find interesting is that, you
21 know, we went from back then, a hand-built, you know,
22 kind of science experiment bus, as a South Carolina
23 company, to where we are now. A, I guess, three-time
24 winner of the Energy Commission largesse in terms of
25 funding. Thank you very much.

1 But it's interesting that the way the
2 progression has happened is that the first time it was
3 literally to kind of hand-build a bus in our factory, in
4 South Carolina. The second time was to establish -- we
5 used our win to establish not one, but two factories.
6 One to build buses at scale and one to complete our R&D,
7 and battery pack manufacturing facility. So, we almost
8 got a twofer on that one. You have a manufacturing
9 facility building battery packs and energy storage
10 systems, as well as some equipment for the R&D center.
11 And then, also, to establishing and building buses for
12 the factory.

13 And then, this most recent one that's listed is
14 going to allow us to refine and augment our existing
15 factory in Southern California to help scale the
16 manufacturing of buses to meet the demand. You know, we
17 now sell more buses in a quarter than we sold in any
18 three years combined prior to about 2015 or '16. And
19 I'll go into some other detail later about, you know,
20 the scaling of manufacturing and the numbers that we're
21 looking at in comparison to where we were back then,
22 when we were building buses in onesies and twosies,
23 because that's the way people were buying them.

24 MR. RILLERA: I want to drop this term, which is
25 not identified on this slide here, and I haven't heard

1 it, so I'm anxious to introduce it, and that is supply
2 chain.

3 Most of you, either personally, professionally,
4 or within your respective organizations have seen this
5 supply chain in its infancy, in its emergence sort of
6 grow over the years. Could you speak to that? And I'm
7 going to look at Morgan first, and she's seen a lot of
8 companies, technology providers come and go with their
9 technologies, and your partnerships you have with these
10 companies.

11 And then, similarly, Jannet, if you could speak
12 to that as you've evolved your partnerships there, with
13 Cerritos.

14 MS. CASWELL: So, just generally, I'll give you
15 a sense of how the ports have grown in terms of
16 container through put, we'll start there. Since 2005,
17 we've actually seen a 12 percent increase in container
18 through put. So, subsequently, we've seen an increase
19 in the equipment at the terminals.

20 In terms of the way the technology has evolved,
21 you know, when we first started, you know, just kind of
22 talking about zero emissions, we were really focused on
23 near zero. None of the major manufacturers were really
24 at the table and involved in progressing the technology.
25 And it's amazing to see how it's changed. We used to

1 have, you know, just a handful of technology developers
2 that we were discussing standards with, potential
3 standards. And, you know, today it's just exponentially
4 grown. And we're happy to see that they're coming in to
5 really support this transition, without which we don't
6 think would be possible.

7 In terms of partnerships that have really had to
8 shape as a result, I would say our partnership with
9 Southern California Edison has changed dramatically.
10 They have been critical in advancing this effort simply
11 because the infrastructure requirements are huge at the
12 ports. You're talking \$800 million just for terminal
13 equipment at the Port of Long Beach is what we're
14 anticipating, 155 miles of electrical conduit, you know,
15 172 transformers. It's significant.

16 So, they've really stepped up with their Charge
17 Ready Program. They did a pilot. They're working on a
18 pilot with us, which is actually part of one of our CEC
19 programs, to support electrical infrastructure to
20 support 24 battery electric yard tractors.

21 So, you know, I think a lot of things are moving
22 and people are stepping up to partner with us and to
23 support the transition.

24 MS. MALIG: Boy, that's a touchy subject for us
25 in the world of education. You know, most educators

1 think of supply chain management or supply chain in the
2 world of logistics. So, for us in education, it really
3 means what does that mean for the end user and how do we
4 work our way backwards. From the fact that you think
5 that you want your groceries to be delivered in two
6 hours, and what does that mean for what the warehouse is
7 going to look like, and what's the technologies going to
8 be used. And believe it or not, in the world of Amazon,
9 and these short trips, and these drivers, and what does
10 that mean for the ability to take zero emission vehicles
11 and be able fill that. To fill that void and be able to
12 fill that need. And what does it actually mean for us
13 in terms of warehousing and automation.

14 So, for us, those are kind of the big things for
15 us. It's identifying where are those skill gaps today,
16 and how are we going to be able to meet the need and say
17 that we have a workforce that is ahead of the game.
18 Like, you know, Morgan was talking about, it's what are
19 we going to do with that.

20 And, so, we're really looking at that today,
21 about where can we be and what do we need to be in being
22 able to affect how that means for transportation and
23 being able to meet those demands. When we think that
24 you place an order today, and you want it within 24
25 hours, how is that goods movement when it's coming out,

1 and you think it's coming from the port, and it's going
2 to a third-party warehousing person. And then, within a
3 couple of hours it's in a driver's hand, and then two
4 hours later it's at your house.

5 So, for us, we have to look at the complete
6 supply chain of what that really means for us and what
7 does that mean for our workforce. So, we are looking at
8 that and looking at specific job skill sets, and what
9 does that mean for workforce for us.

10 So, we're definitely addressing it already and
11 working with big associations, and trucking companies,
12 and warehousing companies to really look at what does
13 that mean.

14 And even on the entrepreneurial side what are
15 the opportunities to see and being able to reduce the
16 emissions in the way that they're transporting the goods
17 and services that are out there for us. We're
18 definitely looking at it.

19 MR. DEALBA: Excellent, thank you. And I'm
20 going to move to number two, otherwise we can spend
21 probably the whole panel on number one. That's a very
22 good question.

23 And Morgan, I want to start with you on this
24 one. And it reads: Describe new partnerships, emerging
25 opportunities, or lessons learned from your respective

1 projects. And I want to start with you because the
2 Port, in essence, is just a living partnership you've
3 got. You're a landlord, you're working with terminal
4 operators, you've got countless organizations coming in
5 to pick up goods from your port. And so, you really
6 have got to understand how your partners function,
7 especially when you're demonstrating zero emission
8 vehicle technology.

9 So, I'll just look to you, to help answer number
10 two.

11 MS. CASWELL: So, I want to give you an idea of
12 what our different CEC-funded projects are. I think
13 that will help respond to this question. So, we've been
14 fortunate enough to receive nearly \$18 million for the
15 CEC for a wide range of opportunities.

16 One would be the electric vehicle blueprint that
17 the Port has put together and this really is our look at
18 looking at the ecosystem, which is the Port, and all of
19 the related entities on how we move from our current
20 state to zero emissions. It was a significant effort,
21 which included research of current plants and procedures
22 at the port, looks at what we've already done, looks at
23 what everyone else was doing related to zero emissions,
24 terminal equipment and trucks.

25 And then, we did a lot of stakeholder outreach.

1 As you mentioned, we have a lot of partners, including
2 the terminal operators, the vessel operators, the
3 utility, a lot of people that we brought together to
4 talk about how we get there. And then, from there, we
5 created a plan. So, that is one project that we have,
6 which was informed by others and continues to inform new
7 projects.

8 We also received funding for electrical
9 infrastructure to support the build out of charging for
10 39 zero emissions pieces of terminal equipment,
11 including battery electric yard tractors and battery
12 electric forklifts.

13 And I know infrastructure isn't the centerpiece
14 of this discussion, but as I mentioned earlier, with
15 \$800 million in infrastructure to put in, that was huge
16 for us and easily the largest amount of funding we've
17 seen for electrical infrastructure. So, I do want to
18 highlight it.

19 And then, third, we have a grant for the
20 deployment and demonstration of nine converted all-
21 electric rubber tire Gantry cranes, as well as 12
22 battery electric yard tractors. The conversion of LNG
23 trucks to plug-in hybrid electric LNG trucks.

24 And then, lastly, as part of that grant project,
25 we asked Long Beach City College, which is one of our

1 local community colleges, to do a workforce gap
2 assessment. So, what that entailed was taking a look at
3 specifically the equipment that was on that grant. It
4 wasn't intended to be a wholesome look at all of the
5 equipment. But looking at the rubber tire Gantry
6 cranes, and the trucks, and the yard tractors. Looking
7 at the projection of how many we anticipate to see into
8 the future and assessing what the workforce will need.
9 What kind of training, what kind of skills they'll need
10 to support that transition. And then, from there, what
11 is already being done at the community college level.

12 So, in terms of partnerships, I really want to
13 highlight the one with Long Beach City College. I don't
14 think we had ever worked with them in that capacity
15 before. And we continue to go out for funding to
16 support continued work. And we do have another grant
17 through the California Energy Commission that's not part
18 of the Clean Transportation Program, but the EPIC
19 program. And that will actually develop some of that
20 training that we talked about and learned that we needed
21 through that gap analysis.

22 So, I mean, I think that's a really good
23 demonstration of how these projects are moving the
24 needle to get at question one, but also developing
25 partnerships that we weren't necessarily utilizing to

1 their full capacity before.

2 MR. DEALBA: Thank you. Now, that's great and
3 I'm glad you brought up the blueprint, the EV blueprint,
4 because you're getting a lot of positive feedback not
5 only from the Commission, but I believe from some of
6 your partners that we have been hearing on the planning,
7 and not to mention the outreach to the communities, et
8 cetera.

9 It sounds like you may have another future
10 partner, sitting to your right there --

11 MS. CASWELL: Right, yes.

12 MR. DEALBA: -- to work on workforce development
13 opportunities.

14 Jannet, you obviously need to get feedback from
15 the industry if you're going to be developing workforce
16 training programs. What type of partnerships do you
17 look for to inform those workforce training programs?

18 MS. MALIG: You know, very similar to what Jasna
19 was talking about. You know, if we had the opportunity
20 to work directly with the manufacturers, or the end
21 users, in many cases for us it tends to be the end user.

22 Or transits, we -- I belong to an SCR TTC, which
23 is a group of transits. So, we work very closely
24 together in designing and developing the curriculum hand
25 in hand. So, their technicians, their trainers sit with

1 us to design what that really looks like. And then,
2 we're able to implement it across the State, with our
3 other community colleges.

4 And it's the same thing when we have a
5 manufacturer that comes around. Most of our community
6 colleges have OEM programs, whether they're light,
7 medium, heavy, or off-road. So, we're able to use the
8 technology that they have to develop and design
9 curriculum, and then we're able to test it directly and,
10 like modify it, and refine it to the point where it
11 actually becomes part of an everyday thing.

12 And, you know, we talk about how we've been
13 funded multiple ways. We had, gosh I'd probably say
14 it's been like six years, already, when we originally
15 started in a partnership with South Coast and CEC in
16 designing curriculum that we could use in the community
17 colleges. It came out of San Diego, Miramar College.

18 And we were able to design curriculum. And what
19 came out of that was the ability for the community
20 colleges to take the technology in house and develop
21 curriculum that could be used for it. And then, from
22 that we were able to train incumbent workers, and then
23 put it into actual for credit.

24 So, you know, we're now at the point of the
25 courses are now for credit. And I think that's been our

1 partnerships where most of the public sees it, or they
2 don't necessarily know what it means, but then we're
3 able to actually use it in the classroom and go out into
4 the community. And the most recent funding was for high
5 schools to deploy clean transportation technology or
6 education. So, we were able to go directly into high
7 schools and design.

8 So, it's those kids who walk out of their house,
9 see a bus, recognize what it means, and say, that's what
10 I want my future to look like.

11 So, I think that's been really important for us.
12 We've been able to take, you know, businesses,
13 education, and the public down to, you know, regular
14 people in their homes be able to do that. So, we've
15 been really excited about that.

16 MR. RILLERA: Great, thank you.

17 I'm going to use this workforce question, labor,
18 and look at Kent very clearly with respect to the
19 question as a manufacturer, and your supply of labor,
20 workforce issues, things associated along that line.
21 Thank you.

22 MR. LEACOCK: We're hiring. No, we have --
23 actually, we have over a dozen positions in our Southern
24 California facility. And in fact, fortunately,
25 California and L.A. County has an extensive community

1 college network. And we have a community college right
2 next door to us, Rio Hondo College. Along with another
3 organization down there, called WDACS, the L.A. County
4 Workforce Development and Aging and Community Services.

5 And what we've found, similar to what Jannet was
6 talking about, basically, we need the workforce of the
7 future. You know, as part of our scaling of
8 manufacturing, we want to be able to bring more things
9 in house. We want to do more with employees from the
10 community, and we want to hire from the community.

11 And so, we had to start really going outside of
12 our normal path of, you know, we throw jobs up on Linked
13 In, we have employees, reach out to their network, word
14 of mouth. You know, so we started doing, you know, the
15 initial basics were community-based job fairs, veteran-
16 based job fairs, with electeds that were sponsoring
17 them, or with L.A. County, with Supervisor Solis's
18 office. But we had to do more.

19 And so, what we're now doing in working with Rio
20 Hondo College and L.A. County as a whole, is developing
21 a curriculum that will lead to graduates that will
22 become direct hires within Proterra. As well as looking
23 at the myriad of let's just say diverse workforce that
24 may or may not be underrepresented in this kind of good
25 job economy of manufacturing. And that includes reentry

1 folks that have experienced the U.S. prison system.

2 We are really aggressively hiring women for our
3 manufacturing jobs. We're working with an organization
4 called Daughters of Rosie, named after Rosie the
5 Riveter, interestingly enough. And we've already hired
6 some of their people and we're working with them more
7 and more.

8 There's an organization called Defy Ventures
9 that is -- that does work on reentry. And, of course,
10 diversity as well. You know, we're trying to hire --
11 because we're in the City of Industry, we're surrounded
12 by a fairly diverse community, so we want to make sure
13 that our workforce is diverse. And, quite frankly, it
14 is very diverse.

15 But we were, in many ways, hiring people that
16 were at times a little under qualified, and having to,
17 you know, train on the job or, you know, bring them
18 along a lot more slowly, when we would have been much
19 happier to have people that had gone through a training
20 process that they could hit the ground running.

21 Because, you know, we need to -- as you well
22 know, we need to scale manufacturing and it's one of
23 these things where you can only bring on so many
24 inexperienced people at a time and get them up to speed.
25 And then, you know, it's the old -- get them working

1 because we have to maintain a level of quality, and
2 quality control. So, you can't -- even though, you
3 know, we could hire. For the amount of work we have, we
4 can hire 50 people. But there's no way you could absorb
5 50 people into that factory, building buses, and not
6 have it turn into chaos.

7 So, the more ready they are to hit the ground
8 running, if you will, from the electrical side of things
9 or the mechanical side of things, the better it will be
10 for Proterra.

11 And we're starting to get folks, we're also
12 working with Goodwill Industries down there. They have
13 an association with Rio Hondo College, as well. And so,
14 we're starting at, you know, getting more and more folks
15 that are more well prepared than hiring, say, somebody
16 that used to work at Jiffy Lube. Because, quite
17 frankly, that's what we did. We would hire people that
18 had worked at Jiffy Lube, or even, like something even
19 remotely similar in a factory, when we were first
20 staffing up.

21 But we have to get better. We have to get
22 smarter. Because as we bring more and more, let's say
23 sophisticated manufacturing components in house, we need
24 to have a more, and more sophisticated workforce. And
25 that doesn't necessarily mean that we need to go camp

1 out at four-year colleges. We just need to make sure
2 that the folks that we're hiring are getting the
3 appropriate training to work within our industry and
4 advance in our industry.

5 MR. DEALBA: I just want to give you all an
6 opportunity to chime in if you have anything for that
7 one. If not, we can move on to the next question.

8 All right, thank you, Kent.

9 So, number three is describe planning and
10 development issues associated with charging/refueling
11 infrastructure that support deployment of your zero
12 emission vehicle technologies.

13 I'll look to you, Jasna, to start this off. I
14 know they're not your zero emission vehicle
15 technologies, but your organizations certainly have zero
16 emission vehicle technologies. So.

17 MS. TOMIC: Right. No, good question. So, as I
18 was sharing earlier, the projects that were initially
19 funded, these 10, 11 projects, pilot projects,
20 demonstration projects that were funded were usually for
21 one unit, one bus or one truck. So, infrastructure at
22 that point was not that difficult.

23 The projects that, however, followed those were
24 then including either seven buses, or ten buses, or
25 larger number of trucks. Their infrastructure became a

1 different conversation. How to prepare for it, how to
2 build for it, and what all needs to be done.

3 And in those situations, what sometimes happens,
4 unfortunately I'm going to illuminate a problem, is that
5 the bus or truck technology will arrive, but won't be
6 put in service because the infrastructure is not ready,
7 yet. And that, then, causes delays of sometimes on the
8 order of years to get, you know, the implementation
9 going.

10 Because infrastructure, unfortunately, doesn't
11 just involve just the fleet and the manufacturer, but it
12 involves a utility, it involves the city, the planning.
13 Those parts are a little more complicated.

14 So, I guess my advice and kind of note on that
15 point is when we're planning infrastructure and we're
16 planning these larger projects, we really need to have
17 those relationships developed with the city planners,
18 with all the pieces along the supply chain, if you will,
19 of all the parties that get involved to get that
20 infrastructure in place. It's something critical.

21 And then, with the utilities, for sure. So, as
22 part of this, something that we have been working on and
23 we've actually engaged with -- that's another CEC-funded
24 project for DASH buses, down at LADOT. Those are BYD
25 buses. And then, we've engaged with L.A. Department of

1 Water and Power how to, you know, electrify that. The
2 next phase of that is L.A., city of L.A. wants to go all
3 zero. The mayor has that definitely in his plan.

4 So, in the next phase of that, how do they
5 electrify their entire fleet. So, they're, you know,
6 looking deeply at what needs to be done at the level of
7 the transit, LADOT, to electrify their entire fleet.

8 Another example is we were working with South
9 Coast AQMD that had a project implementing electric
10 school buses, with 18 schools in the district. So,
11 then, they looked to us -- actually, Edison came to us
12 and said help us work with these schools to get them
13 ready for the infrastructure. Again, because giving
14 just the money to the school for the bus is one thing
15 but getting the school ready and who -- you know, that
16 type of advice or taking them through the steps to get
17 the infrastructure ready in time when the bus comes was
18 different work.

19 So, I think the main message is we need to have
20 all the parties on board. We need to engage with the
21 utilities and the planning pieces. And, we're finding
22 it's really helpful for all these fleets to really sort
23 of understand that up front.

24 So, what we're developing, as part of some of
25 the programs we have we're developing these two-pagers,

1 three-pagers of here are the stepping stones. Here are
2 the phases you need to go through when you install
3 infrastructure. Here are people you need to contact
4 right before. Because it's not an issue like, okay,
5 I'll get the truck or the bus, then I'm going to get the
6 infrastructure. It actually needs to go sort of
7 beforehand.

8 MS. CASWELL: Yeah, I have a lot of thoughts
9 about infrastructure.

10 MS. TOMIC: I'm sure you do.

11 MS. CASWELL: And I'll echo what you just said
12 about timing. We certainly run into that challenge at
13 the Port. And as Ben alluded to, you know, we're a city
14 department. We are an enterprise department for the
15 City of Long Beach. We don't own or operate the
16 equipment. But we do provide infrastructure as a
17 service and then, the terminal operators will repay back
18 the cost of that infrastructure through their lease.

19 So, we do have, you know, these technology
20 projects and we are putting in infrastructure for a
21 couple of them. And we have to go through the public
22 bidding process and it's long. It takes us probably
23 eight months to over a year to really even start
24 construction.

25 In terms of some of the project level challenges

1 that we've run into on infrastructure, they really
2 relate back to how the terminals are set up. So, the
3 terminals are designed to bring as much cargo through
4 the ports as physically possible. And that space for
5 the containers is expensive real estate.

6 And I think what we've really learned through
7 the EV blueprint, through our outreach, through these
8 projects is that there's a little bit of a knowledge gap
9 between the technology developers and the terminal
10 operators on how much space we have for our charging
11 stations. So, even as we're going through the process
12 of designing some of the infrastructure, some of our
13 developers have had to actually adjust the size and the
14 design of their equipment, which makes it really hard to
15 design and go through a bid process until you have a
16 finalized product. So, that's one element of
17 infrastructure that's been a challenge.

18 Another one is related to UL certification. So,
19 the City of Los Angeles, the City of Long Beach require
20 that UL certification of those charging systems, as well
21 as any battery storage, and it has to be the whole
22 system, not just pieces of the system. And,
23 unfortunately, that certification takes a long time.
24 So, folks coming to the table with a project for a
25 grant, who haven't gone through that, and there's not

1 enough timeline on the grant, aren't necessarily going
2 to be successful as they're going through that
3 permitting process with the ports.

4 Fortunately, you know, we've been able to work
5 with our technology developers and get that third-party
6 certification and really work through it. But it's
7 really been identified to us that we need to be doing
8 some more outreach with folks on what the requirements
9 are to do business down at the port, and to install
10 that.

11 I do want to highlight one other component, just
12 related to charging challenges at the Port. And that's
13 the knowledge gap on how frequently the vehicles need to
14 run. It came out in the EV blueprint process and it was
15 pretty amazing to see. We had brought together many
16 stakeholders, including the terminal operators, the
17 environmental justice groups, the regulatory agency,
18 ports, looking at -- you know, the utility folks came
19 in. And we asked a series of questions. We sent out a
20 survey and we asked do you believe the terminal
21 equipment needs to run over 16 hours?

22 And 60 percent of folks who were not terminal
23 operators or the ports said, no, they don't need to run
24 longer than -- I'm sorry, let me say that -- go back in.
25 Seven percent said, yes, they do need to run longer.

1 And in contrast, for the terminal operators, 60 percent
2 said yes, they need to run longer.

3 So, the technology isn't building to that 16-
4 hour requirement, which is made up of two shifts down at
5 the Port, which is what the diesel counterpart can do,
6 and what the expectations of the operators are.

7 And that plays into infrastructure. And I think
8 that's something I really wanted to highlight here today
9 is how do we, you know, moving forward address those
10 things. And I think we really tried to highlight that
11 in the EV blueprint is we need charging standards. We
12 need greater outreach related to how the terminals
13 operate. And we certainly need more funding for all of
14 the infrastructure that we need.

15 MR. DEALBA: All right, thank you.

16 I just want to let Kent chime in here, because I
17 want to hear what you're doing as a manufacturer to work
18 with your potential customers.

19 MR. LEACOCK: I'll just say that all I need to
20 do is echo what they've said. And I can just tell you
21 that the bigger the project, the longer it takes.

22 And just as a way of example, even now, when we
23 have a small pilot project of five buses or so, you
24 know, we generally try to start the infrastructure at
25 least six months before they're thinking about getting

1 delivery of the buses. And if it's a 20-bus, then it's
2 over a year to get it all done from the design, to
3 building a load profile, the load that you will need to
4 charge those buses, and then interacting with the
5 utility.

6 Now, time has been -- here, in California, that
7 time is cut down a little bit because we have the
8 attention of the utilities. Four years ago, you
9 couldn't get the attention of the utilities because we
10 were just so small and insignificant that it was like,
11 oh, yeah, yeah, we'll throw a couple of chargers up when
12 we have a chance. But now, they understand. But that's
13 not the case across the U.S.

14 So, here in California, I would say that you
15 still need, especially as projects get bigger and
16 bigger, and they look at like, you know, potentially
17 electrifying an entire division, say, a hundred buses,
18 you should at least start a year and a half on that,
19 just on the infrastructure piece of it. In terms of the
20 design because there's space constraints.

21 And because, as a kind of reverse issue, the bus
22 yards are -- they're designed to cram as many buses in
23 as small a footprint of expensive L.A. real estate as
24 possible. And so, then, where are you going to put the
25 chargers? So, it's similar to the containers, except

1 it's buses that are going to have to move in and out of
2 there under somebody driving them, without wrecking
3 them.

4 So, I'll just end with you've got to start way,
5 way in advance. Pretty much the instance you get a
6 signed contract to build the buses, you need to start
7 designing the infrastructure and getting it ready for
8 installation.

9 And it was so important that we actually started
10 our own internal infrastructure group made up of former
11 utility guys, and a guy that ran the Supercharger
12 network for Tesla that, you know, had a lot of
13 experience doing that. And that is really one of the
14 things that saved us.

15 Because before, when it was onesies and twosies,
16 you could just about find a contractor in any city and
17 any area that had done a couple of charger
18 installations, because that's all you really needed.
19 But not anymore, it's a project.

20 And so, the other, the last thing I'll say is
21 that you need to be wary because now that it's a real
22 business opportunity, people are springing out of the
23 woodwork that will make any claim they possibly can to
24 get your business. And we've seen it happen.

25 And as you were talking about the different

1 providers that have fallen by the wayside, well, now,
2 we're in a different cycle of folks that are going to
3 fall by the wayside. And that will be the
4 infrastructure, design and, you know, kind of like, oh,
5 we can do everything, software management design, all
6 that stuff, they're going to be falling by the wayside
7 as we progress in this electrification future.

8 MR. DEALBA: Great, thank you.

9 We've got about five minutes left, but I still
10 want to get to number four. And then, maybe we can do
11 sort of shotgun closing comments at the end.

12 So, to sum it up, really, how are your projects
13 benefitting the communities, including disadvantaged
14 communities, and do you see anything we can do to
15 improve the Clean Transportation Program's approach to
16 benefitting communities?

17 And Jannet, I'll look to you to start and then
18 maybe we'll just go around the table real quick on this
19 question.

20 MS. MALIG: Most definitely. I think in
21 disadvantaged communities, you know, when we look at the
22 Port and areas like that there are, there's a
23 significant gap, especially when it comes to workforce
24 and knowledge about what that really means for us.

25 And I think the more we're out there, and we

1 could develop it, and we could build -- for me, when I
2 look at building the workforce, it's really important,
3 disadvantaged communities. And we always look at that
4 and we look at how we can build it, how we can make the
5 community better, how we can make the air quality
6 better. And I also think that means looking at
7 workforce and what does that mean from building within
8 the communities and hiring from those communities.

9 And, you know, we talk about all of the
10 infrastructure. You know, we forget about the fact that
11 we're going to put infrastructure and what does that
12 mean for maintenance? What does that mean for
13 facilities? That's a completely new job market and a
14 job skill set.

15 And I think when we look at disadvantaged
16 communities and being able to assist those, that that's
17 really where our focus is. And when I look at education
18 that's really important for me. You know, I look in the
19 Central Valley, I look in, you know, the Imperial
20 Valley, San Bernardino area, they really see a big
21 difference in economy. And the implementation of these
22 types of technologies that really kind of help the
23 economy. So, we're excited to see that and hope that
24 that continues in those areas, and that we could really
25 develop that, the job market for those areas.

1 MR. DEALBA: Morgan.

2 MS. CASWELL: I think, you know, the obvious
3 benefit is the emission reductions associated with our
4 projects. Another benefit is the short-term
5 construction jobs that come out of these projects, and
6 those certainly benefit our local workforce as well.

7 I think in reference to what the Clean
8 Transportation could do is continue to do what you're
9 doing. I think for us, what came out of that EV
10 blueprint process was we need funding for terminal-wide
11 master plans on how we're going to put infrastructure in
12 and what equipment we're going to use. I think we've
13 learned that these one-off projects, while they're
14 incredibly important to advancing the technology,
15 they're not as cost effective as it is to look at the
16 entire terminal operations and how you transition.

17 I think we should continue to fund the trainings
18 that will be necessary, provide some funding into
19 development of those trainings.

20 And then, on the terminal side, on the
21 demonstration side, I think we need to continue to
22 demonstrate a variety of charging options. You know,
23 we've got some automated charging on some of our
24 projects. We do have manual charging. But one of the
25 challenges that we're seeing with that manual charging

1 down at the ports is that the cables are very heavy and
2 some labor unions won't use those. So, it's important
3 to also consider automated, as well as battery swapping
4 may be a better option for some of our terminals, rather
5 than having charging stations all over the terminal.

6 So, I would just encourage you to look at that
7 and then, again, the infrastructure needs are
8 significant, so continued funding for that.

9 MR. DEALBA: Kent.

10 MR. LEACOCK: I'd say that there's multiple, you
11 know, benefits. Number one is the job creating right
12 with in the community there, for building the buses.
13 And as we continue to grow this market, we'll keep
14 adding jobs to build, you know, more and more zero
15 emission buses. And it's not just Proterra and our
16 buses, it's all the other manufacturers of zero emission
17 vehicles that have sprung up within California, up and
18 down the State.

19 Then, you have the added benefit of zero
20 emission buses running in disadvantaged communities,
21 reducing the carbon footprint, mobile source pollutants,
22 the whole myriad of greenhouse gas elimination that you
23 get.

24 And then, on top of that is more dimension. Not
25 just in the port, but you have these big infrastructure

1 projects that are -- in our case, we are actively
2 recruiting using IBW Union workers to do the electrical
3 infrastructure. Because, you know, as I like to tell
4 people all the time, electricity is not your friend, and
5 it's a highly dangerous, you know, kind of high -- you
6 know, because we use high power charging technology.
7 So, we want that job creation, but we want it to be done
8 safely and we want -- because we want everybody to go
9 home at the end of the day. And when it's all done, we
10 still have the maintenance, ongoing maintenance of those
11 high-power facilities. So, there's construction job
12 creation and maintenance, and then ongoing, you know,
13 kind of employment.

14 So, I think that, you know, from my perspective
15 the Energy Commission is doing the appropriate thing in
16 terms of, you know, you've now funded a lot of these
17 different kind of pilot projects. I think if the
18 opportunity prevails to fund, you know, more scaling
19 projects for here in California, as well as then kind of
20 also looking at scaling some infrastructure projects in
21 terms of a how-do-you-charge-it-scale for a port that is
22 going to have a bazillion, you know, trucks coming in
23 and out every day and needed to charge at -- you know,
24 because you're going to run 16 hours a day, two shifts,
25 which is something that we don't have to worry about in

1 the bus world, we can charge overnight. But if you're
2 going to be going, you're going to need hands free, and
3 you're going to need high power, more than what's
4 probably anticipated. So, there's probably some, you
5 know, in the next phase of electrification pilot
6 projects that need to be looked at, as well.

7 MR. DEALBA: Thanks, Kent.

8 Jasna.

9 MS. TOMIC: Yeah, so, I think I'll repeat
10 probably things that were mentioned. The immediate
11 benefit is the cleaner air. So, all the school buses,
12 the transit buses definitely serve communities and
13 provide that cleaner air.

14 A lot of the drayage truck projects and the
15 projects that happen in those zones then, you know,
16 contribute to the still not solved problem, but
17 contribute to solving the problem of cleaner air in and
18 around the ports.

19 And then, the other value that it provides is,
20 as we mentioned earlier -- and some of the school bus
21 projects, really interesting, is then the schools are
22 developing these programs, educational programs. So,
23 the kids within the high schools are then ready, you
24 know, and engaged to this technology. And then, getting
25 training associated with that is great.

1 And finally, what I would say is these projects
2 then provide really good examples, how to replicate, how
3 to grow from it, and that has been an extremely good
4 experience.

5 MR. DEALBA: All right, thank you very much. I
6 think we ran out of time. So, unless you have any
7 burning comments, I think we need to wrap the panel up.

8 Okay, thank you all very much. This is a very
9 great conversation. I thoroughly enjoyed it. And thank
10 you, again, for all the work that you do.

11 I'll pass it back to Larry.

12 (Applause)

13 MR. RILLERA: Great, thank you Ben. Thank you,
14 panelists.

15 We will now move into our third panel. We will
16 have Seungbum Ha from the South Coast Air Quality
17 Management District, Sarah Gonzales from Pixley Biogas,
18 Erin Donnette from World Energy. If you would come up
19 to the table.

20 All right. Elizabeth John will be moderating
21 the discussion this afternoon for the panel. Elizabeth.

22 MS. JOHN: Good afternoon. My name's Elizabeth
23 John and I'm a Manager at the Advanced Fuels and Vehicle
24 Technologies Office, in our Fuels and Transportation
25 Division.

1 And our last panel of the day, today, will focus
2 on projects that result in low and very low carbon fuel
3 production and usage, which is really important to our
4 Clean Transportation Program investments. Emerging
5 technologies and waste resource utilization for the
6 production of low carbon fuel have had a role in
7 achieving our near-term climate and greenhouse gas
8 reduction goals.

9 So, each of the projects represented on the
10 panel today highlights the project successes and
11 benefits accrued to their distinct markets and
12 technologies. And so, we have an exciting panel. And
13 I'm going to let them introduce themselves. Like the
14 panels before us, they'll each have about five minutes
15 to discuss what Clean Transportation Program investment
16 has meant to their project, what was accomplished during
17 the project term, and why it was significant, and the
18 next steps for their project and opportunities for
19 potential replications.

20 And then, following introductions, I'll ask the
21 panel the six questions we have on the slides behind us.

22 But with us today, we have Seungbum Ha from the
23 South Coast Air Quality Management District, who will be
24 talking about the Low NOx Engine Project. Sarah
25 Gonzales from Pixley Biogas Project and Calgren

1 Renewable Fuels. And Erin Donnette, representing AltAir
2 Fuels Project and World Energy.

3 And then, attempting -- we're attempting to get
4 Paul Relis from CR&R on the phone, but he's not yet with
5 us.

6 So, let's start with Sarah and then we'll go
7 around the table for introductions.

8 MS. GONZALES: My name is -- can you hear me?

9 MS. JOHN: A little closer. That's fine.

10 MS. GONZALES: My name is Sarah Gonzales. I
11 work with Calgren Renewable Fuels. We own and operate
12 Pixley Biogas, in Pixley, California. We received a
13 \$4.7 million grant to build an enclosed anerobic
14 digester in the City of Pixley.

15 We use liquid manure from a dairy that is about
16 one mile away from us. We reduce the short-lived
17 climate pollutants on that dairy by about 10,000 metric
18 tons a year. That's 10,000 metric tons of CO2E. We can
19 use the biogas either on site, at our own ethanol plant
20 and power production plant, or that biogas could be
21 cleaned up and used to make CNG fuel. CNG made from
22 biomethane is a very low carbon fuel. We see numbers in
23 the negative 375 to negative 400 CI.

24 So, this project has not only reduced emissions
25 in a very disadvantaged community in the Central Valley,

1 but it has also helped reduce the emissions of a power
2 plant located in the same facility.

3 MS. JOHN: Great, thank you.

4 Let's go to Seungbum.

5 MR. HA: Good afternoon. My name is Seungbum
6 Ha, Air Quality Specialist, and I'm representing South
7 Coast Air Quality Management District.

8 South Coast Air Quality Management is air
9 pollution control agency for all of Orange County and
10 the urban portion of Los Angeles, Riverside, and San
11 Bernardino Counties.

12 This region historically experiences the worst
13 air quality in the nation due to natural geographic and
14 atmospheric conditions in the region, coupled with the
15 high population density, and also city mobile and
16 stationary source emissions.

17 So, I work for Technology Advancement Office at
18 AQMD. Our office mostly focuses on research
19 development, demonstration, and accelerating the
20 deployment of clean fuel and transportation technologies

21 The overall strategy of our office, in large
22 part on emission reduction technology needs, identified
23 through the Air Quality Management Plan process, and
24 AQMD governing boards directives to protect the health
25 of approximately 17 million residents. Near half of the

1 population of California in the South Coast Air Basin.

2 The AQMP, which is updated approximately every
3 four years, is long-term, regional of the lion's fair
4 share emission reductions from all jurisdiction levels,
5 federal, state and local. The 2016 AQMP, which was
6 adopted by South Coast AQMD governing board in March
7 2017, is composed of stationary and motor source
8 emission reduction from stringent regulatory control
9 measures, (indiscernible) based programs and project co-
10 benefit from climate change program, and mobile source
11 strategy, and reduction from federally regulated source.

12 The emission reduction and control measure in
13 2016 AQMP rely on mix of currently available technology,
14 as well as expedited development and commercialization
15 of lower emitting mobile and stationary technology in
16 basin to achieve health-based air quality standard.

17 So, the 2016 AQMP project that the approximately
18 45 percent reduction in NOx is required by 2023, and an
19 additional 55 reduction by 2031. The majority of this
20 NOx reduction must come from mobile sources, both on-
21 road and off-road. AQMD's currently one of two regions
22 in the nation designated an extreme ozone nonattainment
23 area.

24 So, we are supporting a variety of projects and
25 technologies, ranging from near-term to long-term R&D

1 activities. So, on this technology portfolio try to
2 provide AQMD's ability and flexibility to leverage state
3 and federal funding, while also addressing the specific
4 needs of the South Coast Air Basin.

5 So, the project of studies in our office
6 included diverse mix of advanced technologies. So,
7 significant electric and hybrid electric technologies
8 and infrastructure to develop and demonstrate medium-
9 and heavy-duty vehicle in support of transitioning to a
10 zero and near zero emission goods movement industry.

11 And fuel and emissions studies to conduct the
12 in-use testing and field characterization, and
13 development, demonstration, and deployment of low NOx
14 displacement, natural gas engines, and continue
15 demonstration and deployment, electric charging
16 infrastructure, and natural gas, and renewable natural
17 gas deployment and support.

18 So, in summary, advanced energy and renewable
19 technologies are needed not only for attainment, but
20 also to protect the health of those who reside within
21 the Air Basin jurisdiction, reduce long-term dependence
22 on the petroleum-based fuel, and to support more
23 sustainable energy future.

24 So, this is overview of what we're doing, now,
25 to provide, and then I'll be happy to provide a little

1 more detail of a specific pilot and demo project later
2 on in Q&A session.

3 MS. JOHN: Thank you.

4 Erin.

5 MS. DONNETTE: Good afternoon. I'm Erin
6 Donnette from World Energy. I'm the Director of
7 Government Relations.

8 The project in question today is the AltAir
9 Fuels Project, which is located at our Paramount
10 facility. This facility was -- or this project was co-
11 located on an old petroleum refinery that was ramping
12 down. It was a business that was kind of not well
13 received in the community. And so, our project is one
14 that came in to try to utilize the remaining personnel
15 and a lot of the equipment to show that a renewable fuel
16 project could replace a petroleum project.

17 And you can see on the slides these are all the
18 individuals that we were able to retain. And Bryan
19 Sherbacow, in the middle, was the one who started the
20 program.

21 Last March, our site was acquired by World
22 Energy and we are now working on the next stages of this
23 project. It's a multi-stage setup to where the -- each
24 stage builds on itself so that we can be cost effective
25 as we move forward with it. So, we are currently

1 producing 3,500 barrels a day to 3,700 barrels a day of
2 renewable fuels, ranging from renewable diesel all the
3 way up to renewable gases.

4 But the most significant of what we do is create
5 a renewable jet fuel. And we're the only commercial
6 producer of this in the world. And we supply primarily
7 to United Airlines.

8 The CTP Grant was critical to stage two. If we
9 had not received it at that time, we wouldn't have been
10 able to do the necessary steps in order to build onto
11 phase three, and we wouldn't have been able to be
12 acquired in the way that we were, by World Energy,
13 leading us to this next conversion project.

14 Which, at that purchase time, we received the
15 entire 65-acre facility. And we are working on
16 converting the remaining equipment within that, as much
17 as we can, to increase our production to 20,000 barrels
18 a day, which will equate to about 10 percent of diesel
19 in California. So, it will be a significant increase.

20 And specifically, for the jet fuel production,
21 we have a lot of demand for it. We just don't have
22 enough product to go around. So, it's a good problem to
23 have.

24 But the CEC grant was critical to allowing us to
25 that next step and we're excited to continue working

1 with the CEC as we do more.

2 MS. JOHN: Wonderful, thank you.

3 So, the first question I have is to everyone.

4 And I know the group has touched on it a little bit, but
5 if you have anything to the question what role did the
6 Clean Transportation Program investment play in your
7 project?

8 I'll start with you, Sarah.

9 MS. GONZALES: I would say that the role of the
10 grant we received from the CEC to build Pixley Biogas
11 was instrumental in the actual building of Pixley
12 Biogas. We are an ethanol plant. We did not have any
13 experience in the world of anerobic digesters. We were
14 kind of taking a risk and the grant made it possible for
15 us to do that.

16 Since then, we have one anerobic digester
17 online, on site. We have built four additional anerobic
18 digesters offsite, with the total plan to be 25 anerobic
19 digesters to be built offsite in the Tulare County,
20 general Pixley area.

21 So, we have been able to use that one grant to
22 build one digester, to expand the project to include 25
23 dairies total.

24 MS. JOHN: Wonderful.

25 Seungbum, do you have anything?

1 MR. HA: Before getting to the impact of the
2 Clean Transportation Program, I would like to give a
3 little bit of background of our history of our demo
4 project on near zero and zero emission technology.

5 What we have seen in passenger vehicle sector in
6 1997 Toyota released the first generational hybrid car
7 and the Prius, and they gradually penetrated into the
8 market with the help of increasing gas price and more
9 concerns about the emissions.

10 The Prius was very successful in the market and
11 so, other auto manufacturers started developing electric
12 powertrain vehicle to compete with them.

13 In the meantime, from the portable device field,
14 cell phone, laptop, they dramatically improved lithium
15 ion battery technology and the battery price went down
16 about 80 percent within ten years.

17 So, with that, in 2011 GM applied a lithium ion
18 battery to Chevy Volt plug-in hybrid, with 30 miles EV
19 mode. And in 2012, Tesla released a pure battery
20 electric, Model S.

21 Now, we can see Chevy Volt having over 200 miles
22 with under \$40,000 plug-in hybrid, with 60 miles EV
23 driving.

24 So, passenger sector has led the development of
25 this new technology. And now, we are looking at

1 changing medium- heavy-duty sector. AQMD has supported
2 research and pilot project on near-zero and zero
3 emission technology since the early 2000s. One of our,
4 the first generation of major project started with an
5 award of approximately \$4.2 million from DOE, in 2012,
6 which is exact to one project.

7 The AQMD has contracted with two local EV
8 integrators to develop and demonstrate total 11 zero
9 emission capable heavy-duty drayage truck based upon
10 battery electric and hybrid powertrain.

11 And in the meantime, AQMD started low NOx engine
12 development project with the support of CEC. The
13 development of CNG certified 90 percent below the
14 existing carbon-heavy duty engine NOx standard, under
15 the optional low NOx standard has led to successful
16 development production and commercialization of two CNG
17 engines, including 8.9 liter and 11.9 liter.

18 So, in the market, people used to say 9 liter
19 and 12 liter now.

20 So, these commercialized near-zero CNG engine
21 provide additional and vital support toward California's
22 effort on lowering heavy-duty engine standard, as well
23 as AQMD's petition to USEPA for a similar national
24 standard.

25 So, the (unintelligible) -- using cost sharing

1 from AQMD, CEC Clean Energy, and Southern California Gas
2 Company was able to obtain carbon USEPA certification
3 for both engines at .02 for NOx.

4 So, intended pathway to commercialization was
5 very successful and both engines are now in production.
6 So, more than a million miles of successful
7 demonstration prove the engines are ready for
8 commercialization, with the 9-liter engine in
9 (unintelligible) truck and other vocational trucks, as
10 well as transit and school buses. And then, 12-liter
11 engine in Class 8 drayage truck and 60-foot transit
12 buses.

13 So, this is not end of story. So, we received
14 the award, approximately \$10 million from DOE to develop
15 and demonstrate seven zero emission drayage trucks in
16 real world drayage operation at Port of L.A. and Long
17 Beach in 2014, which is the second generation of project
18 that I mentioned earlier.

19 So, six of them will be the fuel cell range-
20 extended truck and the remaining one truck is based upon
21 CNG hybrid platform, which is using 8.9 low NOx CNG
22 engine developed by CEC-funded project, previously.

23 So, South Coast AQMD received an award,
24 approximately \$24 million, from ARB to develop and
25 demonstrate zero emission drayage truck under ARB's Low

1 Carbon Transportation Greenhouse Gas Reduction Fund
2 Investment Program in 2016. So, this project is to
3 develop total of 44 Class 8 drayage truck, including
4 battery electric, CNG hybrid and fuel cell.

5 AQMD also received another funding from CEC
6 under Alternative and Renewable Fuel Vehicle Technology
7 Program to develop and demonstrate the near-zero
8 emission technology in drayage and cargo handling
9 application, including 20 repowered drayage trucks with
10 12-liter near zero CNG engine, and battery electric, and
11 plug-in hybrid electric drayage truck using 8.9 CNG
12 engine, and pure battery electric top handler.

13 So, this project is ongoing. And recently, one
14 of the fleet operators in this project purchased new 12-
15 liter CNG engine trucks for their business.

16 So, this is kind of the long story from all the
17 research phase to commercialization. But again, we
18 really appreciate for CEC support so that we can digging
19 on the ground from all the phase of research and, then,
20 we're now seeing the real commercialization in the
21 market. Thank you.

22 MS. JOHN: Thank you.

23 Erin.

24 MS. DONNETTE: The most significant role that
25 the CTP investment played in our project was that it

1 allowed for increased capacity and the ability to
2 process different feedstocks. Feedstocks are probably
3 one of the most critical pieces to what we do to make
4 the clean fuels. And currently, we're using fats, oils
5 and greases, largely agricultural waste.

6 There is, as production increases at different
7 plants throughout the country, state, wherever, there's
8 going to be -- there's already starting to be a little
9 bit of a bottleneck in reaching those feedstocks.

10 And so, we need to have the ability to process
11 many different types. And so, as I mentioned, this
12 being a multi-stage process, the grant helped us to
13 build in such a way that we are ready to take those next
14 steps and be able to process those different types of
15 feedstocks, such as cellulosic, and other things that
16 have yet to be discovered.

17 So, we're just anticipating that and hoping that
18 as we continue to move that we'll be able to have lots
19 of access to different things.

20 MS. JOHN: Great, thank you.

21 So, I'm actually going to skip to question three
22 and I'm going to ask Sarah, what is needed to replicate
23 or otherwise enhance the scale of your project within
24 California?

25 MS. GONZALES: What we would need to enhance our

1 project, because we are actually in the process of
2 replicating it several times over, but what we need to
3 enhance our project is not just support from the CEC,
4 which we have gotten in the past and we've always felt
5 that the CEC has been a friend to biomethane, and
6 anaerobic digesters, and the industry as a whole, but we
7 need to feel that on a statewide level. We need to be
8 able to monetize LCFS from biomethane. We need to know
9 that vehicle vouchers are going to exist in the future
10 for conversion of a diesel engine over to CNG.

11 And so, those are some of the problems that we
12 have and that really face industry as a whole. Because
13 if there's nowhere for you to go with your gas, there's
14 no reason to capture it. There's no reason to put in
15 that investment.

16 We received a \$4.7 million grant to build one
17 digester and have now put in almost \$45 million of
18 private investment to increase production of biomethane
19 and reduce emissions in the Central Valley. But if
20 there's nothing to do with the gas, those projects will
21 just end.

22 MS. JOHN: Thank you, that's good information.

23 So, I'm going to direct question four to Erin.
24 What do you see is the next transformative technology
25 and what is needed to bring the technology to market and

1 increase market adoption?

2 MS. DONNETTE: So, as I mentioned, the next step
3 in feedstocks is really looking towards cellulosic and
4 being able to have that ability to process many
5 different types of feedstocks. And so, as we're moving
6 into the next part of our conversion, as we're taking
7 over the entire 65 acres and increasing our production
8 significantly, we need to make sure that we can process
9 different things.

10 Like used cooking oil is one that is, you know,
11 very dirty, but it has a very low CI score and it's --
12 there's a finite amount of that out there. So, it's not
13 something that increases in production over time. It's
14 just it's there, it's processed, everyone's fighting for
15 it.

16 And so, we need to have different things on
17 site, such as a pre-treat facility to be able to clean
18 it up so that we can put it through our process.

19 Cellulosic is similar in that way in that it
20 needs special equipment in order to be able to put it
21 through the process to receive the same type of
22 refinement.

23 So, the thing to remember with our fuels, too,
24 is that biodiesel is a chemical process. Ours is a
25 refinement process identical to what you would do with

1 crude oil. So, it's basically, you know, these are our
2 types of crude, these different feedstocks. And that's
3 really the main thing that we need to be able to work on
4 and to have the ability to put on property.

5 And it is difficult. Working through AQMD and
6 working through local governments, and things like that
7 to be able to have access to these things on site takes
8 time. And as that takes time, then it takes away from
9 our ability to be able to create more of this low carbon
10 fuel for, you know, the communities to benefit from,
11 from the low emissions. So, that's largely it.

12 MR. RILLERA: Great, thank you, Erin. I want to
13 pick up on a point that Sarah raised and that goes to
14 your market, your consumers. Can you talk about how
15 you've done some outreach, marketing and how that's
16 different for your technology and your product?

17 MS. DONNETTE: Yes. So, we have many different
18 groups that we're reaching out to. And, you know, one
19 of the things that I've noticed coming from the
20 government sector into this role is that there really
21 isn't as much discussion about renewable fuels, as there
22 is about, you know, electrification and other things
23 like that.

24 But we play a critical role in being able to get
25 to those next steps. There are certain things that are

1 just going to, if they ever get to that point, take a
2 very long time to electrify, such as airplanes.

3 But we have that ability to provide a solution
4 now, and it's really critical to those communities that
5 are surrounding it. So, I do a lot of community
6 outreach, making sure that local governments and even
7 the school districts and, you know, the communities
8 itself understand what our fuels do in their particular
9 backyards.

10 So, the decrease in emissions from -- let me
11 back up a second. So, with airplanes, the vast amount
12 of emissions that you'll see is from take off and
13 landing. That's where you'll see the significant
14 portion of it. Our fuel cuts that down by about 60
15 percent. And it also creates a little bit of
16 efficiency. At least that's what we've seen from the
17 results that we've received back from United Airlines.
18 It's the fuels are just a little bit more efficient
19 because they're lighter and cleaner, obviously.

20 So, really, just making sure that we're
21 educating everybody about this opportunity. We
22 participate in local events and showing them directly
23 that this is something that they can use, and that it is
24 a drop-in fuel. And that it's something that there's
25 zero modifications needed for on any of their vehicles.

1 So, their classic car that they love and don't want to
2 get rid of, they can use our -- we actually have some
3 other fuels coming online very soon. Friday, tomorrow,
4 we'll have one that will be used in flex fuel vehicles.
5 We'll have the first renewable E85 available.

6 And we have a gas station in our community
7 that's currently buying our renewable naphtha blend.
8 So, taht means that I can drive down the street, fill up
9 my tank, and drive away feeling pretty good that I'm not
10 polluting as much as I would be in the neighborhood that
11 I work in.

12 So, it's -- there's a lot of efforts that we do
13 for outreach and making sure that people understand it's
14 out there.

15 MS. JOHN: Great, thank you.

16 So, question five I'm going to give to Seungbum.
17 As we start moving towards more ZEV technologies and
18 infrastructure, what role do you see low carbon, clean
19 air projects playing in California?

20 MR. HA: I would start with lessons learned of
21 what we are doing in those demo projects and pilot
22 projects so far. So, I want to summarize the three key
23 words. The first one is cooperation. The second one is
24 consistency And, the third one is momentum, the market.

25 For the cooperation, a successful demo project

1 can be achieved by cooperation of all entities and
2 stakeholders who are involved in the project. Not only
3 development of new technology, but also, we need a fleet
4 operator and customer who can bravely participate in the
5 project. Reliable part, funding agency, vehicle
6 integrator, and et cetera.

7 So, as a government agency, we keep increasing
8 these entities to accelerate deployment of new
9 technology.

10 Consistency, commercialization of near-zero and
11 zero technology cannot be acquired by a single project.
12 So, CEC's funding program are able to keep improving the
13 technology, having wider deployment, and continue to
14 take lessons learned from the former project.

15 And the third one is momentum of the market.
16 It's been about ten years for us, since we started major
17 demo project in this field, and now we are seeing that
18 tier 1 and tier 2 powertrain manufacturer have been
19 acquired by large OEMs, and major OEMs are participating
20 in this market we are getting more and more interest and
21 focus from the customers and market as well.

22 So, we developed -- as a government agency, we
23 developed regulation that support other agency, and
24 private sector. But we should not even markets and
25 momentum, once we lose the momentum it will be very

1 difficult to move forward this technology, even if
2 pushing really hard. So, we should keep eye on it and
3 supporting this area.

4 So, the major role of this low-carbon project,
5 in between conventional internal combustion engine
6 technology and zero emission technology.

7 So, these lessons learned from both low-carbon
8 project as well as the zero-emission technology. But as
9 we all know, our ultimate is zero emission, which will
10 be either fuel cell or battery electric. But again, as
11 we all know this technology comes with long lead times,
12 so even the large OEMs, major OEMs are participating in
13 this market, their time frame for commercialization will
14 be, optimistically, it's sometime in 2021. And then, we
15 never know the real commercialization will occur,
16 especially for long-haul drayage trucks.

17 But this, the low-carbon technology, especially
18 for low NOx CNG engine, and low NOx diesel engine as
19 well. This technology will be the interim between
20 conventional internal combustion engine and zero-
21 emission technology.

22 And also, we have a lot of existing
23 infrastructure near the port, and near the warehouse, so
24 we don't have to worry about the permission and
25 construction time for the new infrastructure

1 construction for hydrogen fueling, and the large
2 capacity of the battery electric charging
3 infrastructure.

4 So, all those things. So, I would not say the
5 low-carbon technology will be the final, the best
6 solution for our emission reduction goal, but definitely
7 it will have -- it will lay a really, really important
8 role as the interim position.

9 MS. JOHN: Thank you.

10 So, I'm going to ask question six of the whole
11 group and then, I'm also going to go back to question
12 two. So, I'll give you a chance to think about that,
13 but I'll ask question six, first.

14 Sarah, so can you describe some best practices
15 or lessons learned from your respective project?

16 MS. GONZALES: Yeah, I've actually thought a lot
17 about how to answer that because I've worked on this
18 project since before construction, so since 2012 I've
19 worked on this project.

20 So, the lessons learned is quite long. But I'll
21 leave it to something simple, as we'll go back to this
22 idea of outreach.

23 When we first proposed to build our first
24 anerobic digester, we did get a lot of push back from
25 our local community. And it is a small community of

1 maybe a thousand people, and they did not want that
2 project. And if we had maybe been more out front with
3 what the actual project was, we probably wouldn't have
4 gotten as much push back.

5 So, as we look to expand, we know we have to be
6 out in front. It's made our company become a much
7 bigger participant in our small community. We are a
8 small company, too, we only employ 40 people. So, we
9 are a small company inside a small community. And they
10 thought we were a very large corporation that was coming
11 in to do things to their water or, you know, kind of an
12 exacerbated idea.

13 So, outreach was the biggest lesson learned.
14 And then, as we operated the project and looked to
15 expand, we had a better reputation in our community and
16 so, they were much more welcoming. And even the local
17 dairymen and farmers were much more welcoming to us.

18 MS. JOHN: Do you -- based on your learning of
19 outreach, do you have any tips or suggestions on, you
20 know, what should be incorporated into our program, or
21 how to approach that?

22 MS. GONZALES: I think simple is better.
23 Because I go to a lot of outreach meetings, now, for
24 other projects and what happens is you go to these
25 meetings and people, who are very smart, tell you very

1 complicated things in a complicated way. And even I,
2 who sit here, who -- I do LCFS, I do CI, and they
3 confuse me. I'm thinking, huh?

4 So, sometimes simpler is better. Sometimes just
5 having a very general outline of these are the things
6 we're going to do that is going to reduce emissions,
7 make your air quality cleaner, and help your community
8 by providing jobs. And that's really what people want
9 to hear. They don't want to hear, you know, all these
10 other big words and terms, and nobody knows what -- most
11 people don't know what a metric ton of CO₂e is.

12 So, when you go to an outreach meeting and
13 you're trying to tell people what the emission
14 reductions are in those terms, it goes right over their
15 head.

16 And so, I think, especially when you're just
17 looking at normal people, normal people want all the
18 same things, they want clean air, clean water, and a
19 safe community, and just make sure that you're providing
20 those.

21 MS. JOHN: Great, thank you. That's really
22 helpful.

23 I guess along -- let's keep on the fuel lines
24 and maybe, Erin, you can provide us some best practices
25 or lessons learned.

1 MS. DONNETTE: Yeah, I actually had a long
2 conversation with Bryan Sherbacow, who is the founder of
3 Alt Air Fuels, the project, about this particular item.
4 And one of the things we both came away with was -- how
5 did he say it? He said, don't be first, be second.
6 But, you know, be second in line right after that
7 person. Because the amount of time and money that has
8 been spent, over many, many years, is ultimately paving
9 the way for that next person. There's a lot of
10 education that goes with it, just making sure. Even the
11 regulators, so working with AQMD, working with CARB,
12 working with CEC, making sure people understand what it
13 is we are actually doing can be complicated.

14 And, you know, there's a lot of regulations that
15 we just don't fall into because we're this weird thing,
16 because, you know, we're a refinery, but we're not a
17 petroleum refinery. We don't do anything of any
18 refining of petroleum products on our property at all.

19 And, you know, like I vividly remember the first
20 conversation we had with AQMD last year, where we're
21 trying to lower the capacity so that we weren't falling
22 into this weird reporting category. Because we simply
23 were never going to be to that point of, you know,
24 producing 60,000 barrels a day. So, we were trying to
25 lower it just under that threshold.

1 And they're like, so, but what about the
2 petroleum refining? We're like, we're not doing it.
3 Okay, but what about it? I was like we're not doing it.

4 So, it's just a lot of repetition. And as you
5 said, you know, getting out there and having that
6 conversation with everyone and being as open as
7 possible. And we really try to be very transparent
8 about everything we're doing. I'm constantly arranging
9 for tours of our facility, just so people can come in
10 and see. Even if it's our neighbors. It doesn't even
11 have to be an official of any sort. It can just be
12 somebody who's curious, who lives across the street.

13 We do a lot of stuff with the high school, which
14 is the largest high school in the State, directly across
15 the street from us. So, we work with their science
16 programs to have them come in and take tours and, you
17 know, check things out. And we offer internships and
18 all sorts of things. And, you know, just really being a
19 part of the community and showing them that we want to
20 be a part of their community and that we are a positive
21 part of that has been, probably, the best thing we could
22 have done.

23 And I really can't emphasize enough about how
24 just having constant interaction with your local
25 government, like even doing a concert in the park and

1 showing that, you know, you're there, and people can see
2 you. They see the sign, you know, the banner from your
3 company. And they see that, you know, you want to be a
4 part of it.

5 We're a small company, too, in a, you know, very
6 small city, in a very large county. Paramount is a
7 really unique area. It's like 55,000 people and they're
8 all very active, and everybody knows who we are. And
9 the plant's been there since 1913. And so, for them,
10 also understanding that we're not Paramount Petroleum
11 anymore, is something that's taken a lot of time and
12 education. But it's all worth it. And it's the thing
13 that I think has made us the most successful is just
14 being out in front of all of it.

15 MS. JOHN: Thank you.

16 Seungbum, I know we have a lot of projects with
17 South Coast and we've partnered on a lot of innovative,
18 new technologies. From your perspective, are there best
19 practices or lessons learned that came out of your
20 project?

21 MR. HA: So, in the previous question I already
22 mentioned what we learned from the previous project.
23 So, I just want to have one more comment on that. So,
24 we are facing the diverse of new technology for the
25 engine reduction. So, we're choosing including

1 (indiscernible) technology and the fuel cell battery
2 electric hybrid. There are lot of new technology out
3 there.

4 But we need to focus on those old technologies
5 at the same time, in parallel, because each technology
6 has their own sweet spot. And especially the fuel cell,
7 it's very good for the long-haul drayage truck. And
8 then battery electric it's the short and medium range of
9 the truck, that is the best spot for that. Medium-duty
10 truck, as well, the low NOx engine. So, it has very low
11 incremental cost compared to fuel cell and battery
12 electric vehicles.

13 So, as I mentioned before, that will be the very
14 good transition technology between conventional and zero
15 emission technology. So, we need to keep focused on
16 those, all of the technologies.

17 And then, this cannot be done by only one agency
18 or only one company, or individuals. So, we need to
19 cooperate together to push hard to the market for the
20 future. That's what we learned from the previous
21 project.

22 MS. JOHN: Great, thank you.

23 So, I'm going to jump back to question two and
24 ask Sarah to describe the benefits that have accrued to
25 the local and regional communities from your investment.

1 I know you've talked about it some, but if there's
2 anything you'd like to add.

3 MS. GONZALES: Yeah, so first off, it's just
4 pollution reduction in our actual community. As I said,
5 it was 10,000 metric tons just on one dairy, alone. And
6 if you multiply that times 25, it's a pretty large
7 reduction in emissions in that local community. And I
8 don't know if anyone knows where Pixley is, but it is on
9 the 99. It is in the middle of nowhere. You have
10 blinked and driven through it.

11 But we suffer from high unemployment and some of
12 the worst air quality. So, that's a really impact on
13 that local community. And as we expand our project and
14 include more dairies, these dairies now have a way to
15 monetize their manure. So, they now make money off
16 these projects, so that makes the dairy stronger. That
17 means the dairies' are going to stay there. They're not
18 going to sell and become an orchard of trees.

19 So, it provides money into the local community,
20 it reduced emissions, and as of July 1st, we started
21 injecting all of our gas production into the utility
22 pipeline for CNG. And we supply a CNG refueler in the
23 valley, also. So, that is now tailpipe emission
24 reductions happening in our own local community.

25 MS. JOHN: Wonderful.

1 So, I guess I'll ask Erin the same question.
2 Describe the benefits that have accrued to local and
3 regional communities from your project?

4 MS. DONNETTE: I would say the same thing about
5 pollution reduction. You know, being a transportation
6 fuel producer, it's not just our direct community that
7 sees it, it's any community that our fuel is being used
8 in. And significantly, you know, around airports with
9 the use at LAX, through United. It actually -- the fuel
10 goes into a general tank. And so, it's every single
11 flight that actually is going out of LAX is seeing a
12 reduction. So, it's more significant than just one
13 airline using this, which is pretty cool.

14 Also, the fact that the refinery that Bryan
15 decided to put his project in, on the Delek refinery,
16 the Paramount Petroleum facility was ramping down
17 production. People were losing their jobs. It was a
18 very bleak place to be.

19 And his project was able to come in and save
20 quite a few of those jobs. We have, I believe, about 65
21 direct employees that were kept from that original
22 refinery. And then, there's about 25 indirect jobs that
23 are also from the community that are in there. And so,
24 it was the saving of those jobs.

25 And as we have our conversion project completed,

1 we'll have an increase in jobs and we're planning on
2 using local labor, and all sorts of other great things.
3 And so, there's just a lot of positive aspects from
4 that, that the community will see as we go forward.

5 And then, you know, one thing that people have
6 expressed to me is how proud they are to have something
7 so unique as the only jet fuel, renewable jet fuel
8 producer in the world being located in their backyard.
9 And so, they may look at our plant, which actually is
10 really pretty. We have trees all the way around it.
11 It's kind of nice, as far as refineries go. But it's
12 something that they can look at and be like, yeah, you
13 know, it's not so bad. It is really cool. And check
14 out what we can do right here in little Paramount.

15 MS. JOHN: Great, thank you.

16 Seungbum, the same question to you.

17 MR. HA: Okay, similar answer for the question.
18 So, two things. One is air quality improvement. The
19 other one is job creation.

20 So, AQMD's primary goal is definitely improve
21 the air quality in our South Coast Air Basin. So,
22 especially near the ports we have many disadvantaged
23 communities, and then that is one of the extreme ozone
24 nonattainment areas. So, we are really concerned about
25 the air quality improvement, especially in those areas.

1 So, when we apply this demo project, pilot
2 project, and then the wider deployment of this new
3 technology later on that will, that should improve the
4 air quality in this area. So, that's out main focus.

5 And then, another impact is the job creation.
6 So, as we all know that, so industries are changing, so
7 we are having new industry for near-zero and zero
8 emission technology. And then, all the OEMs and tier
9 one, tier two companies, they all go through the new
10 reconstruction for their organization, as well as some
11 small companies are acquired by large OEMs. So, we are
12 seeing a lot of changes in the market.

13 And, also, we launched two new large projects
14 with Daimler and Volvo, which is major OEM for the
15 heavy-duty sector. So, we have seen this project, we
16 don't see in the previous project, but once the large
17 OEMs participating to this area, they are -- so, the
18 community college and then technology college, they are
19 involved in the project because -- so, once large OEM
20 came into this market they are -- they will be
21 manufacturing a large number of new technology trucks.
22 So, they're going to require a lot of new technicians
23 and engineers.

24 So, the Volvo and Daimler, major OEM, they are
25 developing their own training system, online offering

1 training system, as well as have the community colleges
2 and technology colleges in the project so that they can
3 educate the students, and then training their
4 technicians for the future phase.

5 So, we already are seeing new job creation. And
6 then, as we all expected, so this new market changing
7 will have a lot of new job opportunity.

8 MS. JOHN: Thank you.

9 In the interest of time, I'm going to have
10 everyone provide quick wrap-up comments, if you have
11 anything more to add, maybe a couple sentences. It's up
12 to you.

13 I'll start with you, Sarah.

14 MS. GONZALES: I would just like to say that
15 these grants and the program that you offer does provide
16 a lot of value, especially to emerging technologies or
17 new fuels. And so, in keeping a diverse portfolio, I
18 see us being very important in the future.

19 I think that we get really wrapped up in the
20 idea of electrifying or hydrogen, but those are
21 actually, I think, a lot farther out that people want to
22 admit. And so, there are a lot of things that we can do
23 right now that will reduce emissions in our State today,
24 and that we're just not paying enough attention to.

25 MS. JOHN: Thank you.

1 Seungbum?

2 MR. HA: Yeah. Again, I appreciate the CEC
3 support so far. And then, I'm looking forward to the
4 future support, continued support for this sector as
5 well. Because one other issue is that -- the reason is
6 that, so, once we have the renewable infrastructure
7 facility, this low-carbon sector will have synergy
8 impact with that. So, please, yeah, keep pushing this
9 area. Thank you.

10 MS. JOHN: Thank you.

11 Erin?

12 MS. DONNETTE: I absolutely concur with what
13 Sarah said about the need for all of this. And that,
14 you know, some of those other types of technology are a
15 little bit further off and we need to look to what is
16 doing -- creating improvements now.

17 And, you know, as I had mentioned before,
18 without this investment from the CEC, we would have been
19 at a critical stopping point and not able to move to
20 phase three of our project. And so, we're very grateful
21 that it was available and that we were able to do that,
22 because where we are going is going to be a very
23 exciting place.

24 MS. JOHN: Thank you. I want to give a big
25 thank you to our panel. And we really appreciate you

1 coming and speaking to us about your successful
2 projects.

3 So, I'll hand it back over to Larry. But thank
4 you, thank you all.

5 (Applause)

6 MR. RILLERA: Okay, thank you.

7 We are now going to switch to -- that concludes
8 our final panel presentations. We will now switch to
9 the Clean Transportation Program Summary, Benefits
10 Report Summary, and the Benefits Report Methodology.

11 Susan and Christopher, if you would like to come
12 up for your presentations.

13 MS. EJLALMANESHAN: Good afternoon. I am Susan
14 Ejlalmaneshan with the Fuels and Transportation
15 Division. Today, I will be highlighting some of the key
16 contributions of the Clean Transportation Program toward
17 meeting the State's goals for cleaning the
18 transportation sector.

19 (Pause)

20 MS. EJLALMANESHAN: Sorry about that. As some
21 of our previous speakers mentioned, the transportation
22 sector is the largest source of greenhouse gas emissions
23 in California. When you combine local emissions with
24 upstream petroleum extraction and refining it is roughly
25 50 percent of in-state emissions.

1 To meet the goals set in the State policy, the
2 State transportation sector will need to transition to
3 low and zero carbon fuels and technologies.

4 The Clean Transportation Program originated from
5 Assembly Bill 118, in 2007, and provided up to \$100
6 million per fiscal year to help address State's climate
7 change policies. The primary charge of the program as
8 captured here, is to develop and deploy innovative
9 technologies that transform California's fuel and
10 vehicle types to help attain the State's climate change
11 policies without adopting any one preferred fuel or
12 technology.

13 This slide captures some of the key policies
14 guiding our implementation of the Clean Transportation
15 Program. Our statute calls on us to provide preference
16 to projects that maximize these and other goals. They
17 include in terms of, let's say, greenhouse gas emission
18 reduction, Assembly Bill 32, which sets a goal for
19 reducing the greenhouse gas emissions to 1990 levels by
20 2020. Senate Bill 32 which extends that to reduce the
21 greenhouse gas emissions to 40 percent below 1990 levels
22 by 2030. And, finally, Executive Order B-55-18 which
23 mentioned to achieve carbon neutrality by 2045.

24 Also, we have -- for air quality we have Clean
25 Air Act, and California State Implementation Plans,

1 which both aim for 80 percent reduction in NOx by 2031.

2 And for increased zero-emission vehicles, we
3 have Executive Order B-16-2012, which aims for 1.5
4 million electric vehicles deployed by 2025 and 5 million
5 zero-emission vehicles by 2030.

6 And Executive Order B-48-18 for infrastructure,
7 which aims for -- which supports 1.5 million electric
8 vehicles by 2020. And 250,000 electric vehicle
9 chargers, including in-house and DC faster chargers, and
10 200 hydrogen refueling stations by 2025.

11 It is worth noting that the Clean Transportation
12 Program does not operate in a vacuum. Instead, our
13 program supports and complements statewide efforts to
14 decarbonize the transportation sector. This includes
15 coordinating with a number of different agencies and
16 programs, including Zero Emission Vehicle Regulation,
17 Low Carbon Fuel Standard, Cap-and-Trade/Greenhouse Gas
18 Reduction Fund, utility investment into charging
19 infrastructure, settlement legal assessment that
20 supports ZEVs and ZEV infrastructure, Air Quality
21 Improvement Program, and Carl Moyer Program.

22 We are now in the eleventh fiscal year of the
23 program, fiscal year 2019-2020. And in this table, you
24 can see a very simple summary of where, approximately,
25 \$800 million in program funding has gone through March

1 2019. We have a broad portfolio of project types, fuel
2 types, and technology types as shown. Everything from
3 low carbon fuel production facilities to plug-in
4 electric vehicle charges, to natural gas vehicles, to
5 hydrogen refueling stations.

6 Our statute requires the Energy Commission to
7 include an evaluation of the Clean Transportation
8 Program efforts as part of each Biennial Integrated
9 Energy Policy Report. This evaluation includes the list
10 of funded projects, expected benefits from the funded
11 projects, overall contribution toward transition to
12 clean, alternative transportation fuels, identifying
13 obstacles and challenges to access to clean alternative
14 transportation fuels and, finally, recommendations on
15 what needs to be done to reach to this goal.

16 The next slide summarizes a few of our key
17 investment areas, beginning with ZEV infrastructure.
18 Executive Order B-48-18 sets goals for deploying 250,000
19 EV chargers, including at least 10,000 DC fast chargers,
20 and 200 hydrogen refueling stations by 2025.

21 Through June 2019, more than 600,000 PEVs were
22 sold. CEC forecasts between 1.5 million and 2.4 million
23 ZEVs by 2025.

24 The Clean Transportation Program's funding to
25 date has supported infrastructure for more than 600,000

1 zero emission vehicles in California, roughly half of
2 all such vehicles in the United States.

3 This chart, taking from Veloz, highlights the
4 rapid growth of plug-in electric vehicles within the
5 State. The green trend line is our cumulative sales
6 number. Investment in charging infrastructure are
7 necessary to support the continued growth of these
8 vehicles.

9 Additionally, multiple types of charging
10 infrastructure are needed to ensure that plug-in
11 electric vehicle drivers can meet their transportation
12 needs.

13 As mentioned earlier, Executive Order B-48-19
14 establishes a goal to install 250,000 EV chargers by
15 2025, of which 10,000 are DC fast chargers. These
16 tables detail progress towards achieving these goals.
17 Based on these goals and staff's estimate of currently
18 installed and expected chargers, we see that there is
19 still a sizeable gap in terms of both Level 2 and DC
20 fast chargers. Between 75,000 and 85,000 additional
21 Level 2 connectors are needed within the next six years,
22 along with 3,000 to 4,000 DC fast chargers.

23 This table summarizes the type and number of
24 Clean Transportation Program investment into charging
25 infrastructure. I would note that this is through March

1 1, 2019 and does not account for active CALeVIP
2 reservations. More than half of these Level 2 charging
3 stations were installed at homes to support the early
4 deployment of the first PEVs in the State. The
5 residential fleet, workplace, multifamily housing, and
6 public charging connectors consist entirely of Level 1
7 and Level 2 charging stations. The corridor charging
8 stations consistent mostly of fast chargers, but many
9 sites also include some Level 2 charging stations.

10 As of March 2019, the Energy Commission has
11 approved nearly \$125 million in Clean Transportation
12 Program funding for 64 new or upgraded hydrogen
13 refueling stations that will help serve an emerging
14 population of fuel cell electric vehicles. Plus, the
15 development of retail refueling standards to enable
16 hydrogen sales on a per-gram basis.

17 These stations represent two-thirds of the
18 initial network of 100 hydrogen refueling stations
19 called for by AB8, or one-third of the way toward the
20 2025 goal of 200 hydrogen refueling stations.

21 As shown in this slide, our funded projects have
22 also been broadening the geographic availability of
23 hydrogen refueling stations. Green dots on this map
24 represent open public stations and the yellow dots
25 represent the planned stations we have committed to

1 funding.

2 Earlier, Shane Stephens mentioned the new
3 ability to drive a fuel cell vehicle from San Diego to
4 Tahoe. We are proud to have enabled that.

5 To date, the Energy Commission has awarded
6 nearly \$200 million to 71 low-carbon fuel production
7 projects, as you can see in this table.

8 The California transportation sector presently
9 relies largely on petroleum, which accounts for 89
10 percent of ground transportation fuel used in the State.
11 Any low-carbon substitute fuel that can displace the
12 roughly 14 billion gallons of petroleum-based gasoline,
13 and 3.3 billion gallons of petroleum-based diesel use
14 per year in California presents an immediate opportunity
15 to reduce greenhouse gas emissions and petroleum use.

16 Biofuels, such as non-petroleum diesel
17 substitutes, gasoline substitutes and biomethanes
18 represent the largest existing stock of alternative fuel
19 in California's transportation sector.

20 In addition, product of and demand for renewable
21 hydrogen are expected to increase in the coming years as
22 more hydrogen fuel cell electric vehicles are sold.

23 Fuel production projects that we have funded
24 support in-state production of primarily waste derived
25 alternative fuels. These projects also benefit

1 significantly from credits under the Low Carbon Fuel
2 Standard and, in turn, support the State's ability to
3 meet its near-term greenhouse gas emission reduction
4 requirements within State investments.

5 This slide captures some of the investments we
6 have made on the retail side, including both deployment
7 and vehicle demonstrations. The first with deployment
8 projects included natural gas and propane, represented
9 near-term opportunities to bring quick criteria emission
10 reductions. And in the case of natural gas, expand the
11 potential stock of trucks that can utilize also low
12 carbon biomethane.

13 Our hybrid and ZEV deployment projects have
14 partnered primarily with the Air Resources Board,
15 providing them with additional funding to backfill the
16 Clean Vehicle Rebate Project prior to the availability
17 of funds from the much larger Greenhouse Gas Reduction
18 Fund.

19 We have also funded pilot projects to implement
20 and evaluate low-income mobility opportunities using ZEV
21 technologies.

22 The final row highlights the considerable
23 investment we have made in demonstrating advanced
24 vehicle technologies in the medium- and heavy-duty
25 sector. Trucks and buses in this sector represent an

1 outside share of the greenhouse gas and criteria
2 pollutant emissions within the State. However, they
3 also have much more diversity in the configurations and
4 operations, and much more stricter duty cycles.

5 We have also provided support for other related
6 opportunities that support the aforementioned fuel
7 infrastructure and vehicle projects. Our workforce
8 training and development investments have reached more
9 than 17,000 trainees at this point, with additional
10 instruction programs developed that will focus on
11 training new workers on ZEV technologies.

12 We have benefitted from partnership with
13 California's Employment Training Panel, and multiple
14 programs with California's community colleges.

15 Our programs manufacture investments totaling
16 nearly \$50 million as of our recent Business Meeting,
17 are helping reduce the costs associated ZEVs and ZEV
18 infrastructure, as well as providing in-state economic
19 development.

20 We have also heard multiple speakers today speak
21 to the value of the over \$10 million we have invested in
22 regional readiness planning, which supports planning
23 efforts that prepare for and expedite the deployment of
24 alternative fuel infrastructure and vehicles.

25 The Energy Commission partnered with the

1 National Renewable Energy Laboratory to develop
2 quantifiable estimates of petroleum use reduction, air
3 quality benefits, and greenhouse emission reduction
4 associated with the Clean Transportation Program
5 projects.

6 To estimate the benefits from the Clean
7 Transportation Program projects two methods were
8 applied, expected benefits and market transformation
9 benefits.

10 Our next speaker, Chris Neuman from NREL, will
11 walk us through this analysis.

12 Energy Commission staff provided NREL a list of
13 pending, active and completed Clean Transportation
14 Program projects, along with relevant information about
15 each, such as project type, carbon intensity, displaced
16 vehicle type, and et cetera.

17 As we transition to quantifying some of these
18 benefits, I want to reiterate a previous point that our
19 program does not operate in a vacuum. Our program
20 supports and in turn is supported by numerous other
21 State programs and regulatory mechanisms, including but
22 not limited to the Low Carbon Fuel Standard, the State's
23 Cap-and-Trade program, and the ZEV regulation.

24 In addition to these, funding partners have
25 contributed over \$860 million in match funding to our

1 projects across all fuel and technology types.

2 In short, when it comes to attribution of
3 benefits, we recognize that our funded projects and
4 their benefits also reflect involvement of those other
5 investments and regulatory activities. Thank you.

6 MR. NEUMAN: Hello, my name is Christopher
7 Neuman. Better?

8 Hi, my name is Christopher Neuman and I'm here
9 from the National Renewable Energy Laboratory. And
10 today, I will be talking to you about the ARFVTP
11 Benefits and Market Transformation Update.

12 While I, alone, am presenting there have been
13 numerous other people working through this update,
14 including Chad Hunter, Maggie Mann, and Dana Stride.
15 Unfortunately, due to conflicts, I am the only person
16 present today. And while my area is market
17 transformation section if there are any questions, I
18 will answer them as best I can.

19 So, here is a brief overview and introduction.
20 NREL was contracted in 2012 to assess annual benefits of
21 the ARFVTP for the California Energy Commission. This
22 includes two main areas that are known as benefits and
23 market transformation.

24 Benefits are centered around the modeling of GHG
25 emissions, petroleum reductions, and other pollutants

1 such as NOx and particulate matter.

2 The market transformation also uses the same
3 metrics, but it focused on the benefits of increased
4 infrastructure, industry advancement, and building upon
5 success. Market transformation describes how funding at
6 initial stages can get the ball rolling for improvements
7 in renewable technology adoption.

8 Everything that I will cover in this
9 presentation is a direct result of the Energy Commission
10 funding under the ARFVTP.

11 So, let's start with a little bit of a
12 background on the projects which NREL has modeled for
13 the Energy Commission. These include fueling
14 infrastructure, EVSEs, also known as plug-in electric
15 vehicle chargers, and non-EVSE, all non-electric
16 fueling.

17 The vehicle projects section ranges from the
18 fully electrified light-duty vehicles to the process of
19 the vehicle building itself.

20 Fuel production includes three classes of
21 renewable fuels. Each recipient of funding fits within
22 one of these classifications for benefits evaluation.

23 So, with the intro out of the way, let's get
24 into the expected benefits preliminary results. So, in
25 these charts, the bars show the annual reduction and the

1 shaded areas show the cumulative benefits. So, each bar
2 shows what has been achieved for that year and the
3 shaded area is that year and all years before it added
4 together.

5 Through the combination of fueling
6 infrastructure, vehicles and fuel production, a
7 cumulative total of 3.5 billion gallons of petroleum
8 will be reduced by 2030, and 19 million tons of CO2 by
9 that same year.

10 So, this slide shows aggregate information on
11 approved funding. As you can see from the bottom graph,
12 vehicles account for the most investment, followed by
13 fueling infrastructure and, lastly, fuel production.

14 In the fueling infrastructure category, hydrogen
15 makes up the highest amount of dollars invested, while
16 electric chargers account for the most agreements. In
17 vehicle agreements, the medium-duty and heavy-duty truck
18 demonstrations make up the highest investment dollars.
19 And for fuel production, biomethane has garnered the
20 most investment.

21 The total amount of all agreement funding comes
22 to \$670.5 million.

23 In this slide, the top plot shows the breakdown
24 of key metrics of petroleum production and GHG reduction
25 as a function of project subclass. The subclass and all

1 source data are provided to NREL by the Energy
2 Commission.

3 For example, in this plot the GHG reductions for
4 fueling infrastructure are largely driven by hydrogen,
5 and natural, and renewable gas. Manufacturing is the
6 largest contributor to reductions in the vehicle area.
7 And overall, diesel substitutes are the most important
8 for fuel production.

9 And this slide displays a tabular version of the
10 previous plots and some of them may have been a little
11 difficult to read. I'd like to draw your attention to
12 the lower right-hand corner, where you can see a drop
13 off by 2030 in gasoline substitutes, which you could see
14 in the previous slide. The reason for this drop off is
15 the annual benefits -- these are annual benefits and
16 there are seven agreements that have a life end date of
17 2030, but two occur before 2029. So, you can kind of
18 see a drop off as a result of some reaching the
19 conclusion of their active life before the end of the
20 observation period. This explains the reduction in some
21 subclasses in future years, since the subclass has
22 agreements ending before the 2030 date.

23 So, the previous slides conclude the update on
24 the benefits preliminary analysis and from here we move
25 on to the market transformation preliminary analysis.

1 So, in the previous incarnations of market
2 transformation modeling, the exact coordinates of
3 infrastructure were not always known. As of this
4 update, we have an improved GIS methodology. This
5 includes the improved fidelity through repeatability by
6 use of latitude and longitude. Urban areas were
7 grouped, in this case, by a metro area from a county
8 perspective. And addition of state highways to better
9 understand connections between metro areas. And removal
10 of the concept of generalized charger locations, since
11 before we kind of had to partition them based on
12 proportions of populations in metro areas. Now, with
13 the exact locations, we can get a better aggregation of
14 those locations.

15 So, this table shows the increase in EVSE by
16 urban area for Level 2 and DC fast chargers. So, gas
17 stations are also shown here, as much of the analysis
18 uses the comparison of advanced fuels to conventional
19 fueling infrastructure.

20 As you can see from the table, Los Angeles shows
21 the greatest increase for both Level 2 and DC fast
22 chargers as a result of funding. All increases in EVSE
23 shown are a direct result of Energy Commission funding.
24 So, we are not picking pieces of any privately developed
25 EVSE here.

1 So, this slide briefly explains perceived
2 benefit limits, which I kind of wanted to point out.
3 Perceived benefits can be thought of as how many
4 chargers are there compared to gas stations, and how
5 much utility of those locations brings down the cost in
6 the consumer' mind?

7 For example, by this plot, if there are chargers
8 everywhere, the purchase price of a PHEV seems \$1,000
9 less. And you can see the same thing for battery
10 electric vehicles, but there is a lower limit. This
11 seemingly counter intuitive number seems to account for
12 range anxiety, where PEV owners might forego a trip
13 based on concerns of range.

14 So, when we look at these perceived benefits,
15 the -- overall, in the State of California, the effect
16 of more PEV charger locations reduced the perceived cost
17 by \$268 per plug-in hybrid electric vehicle and \$176 per
18 battery electric vehicle. The effect was more apparent
19 in San Diego, where plug-in saw an overall perceived
20 cost drop of \$371 per vehicle. And this also partially
21 due to the ratio of EVSE to conventional fueling
22 stations in that urban area.

23 So, this is a quick chart that kind of shows the
24 annualization of expected high and low for vehicles sold
25 directly due to the impact of lower perceived costs.

1 And you can see if you sum up all the years, to 2022,
2 you get an increase of 45,000 vehicles sold directly
3 from just the better utility of EVSE charging
4 infrastructure.

5 So, there is a similar methodology to the EVSE
6 for HRS, or the hydrogen refueling stations. But after
7 conversations with the Energy Commission staff recently,
8 there may be new and better reporting methodologies,
9 such as informed by things such as the coverage map
10 shown here. And this is credit to a paper sent to us by
11 the Energy Commission.

12 Older methodologies used penalty for hydrogen,
13 where you essentially had a penalty for lack of
14 infrastructure. But after conversations, that
15 methodology might be more outdated, so we are going to
16 be revisiting this quite soon.

17 New fueling projects. So, renewable fuels have
18 increased since last reporting, with biomethane having
19 the largest change. So, six new biomethane projects,
20 which accounts for a 50-percent increase in expected
21 output and a 30-percent increase in total funding since
22 last reporting. Two new biodiesel account for a 3-
23 percent increase in output and a 6-percent increase in
24 total funding.

25 Oh, I'm sorry. So, yeah, catch up to that.

1 And the last point, so two new ethanol projects
2 were proposed, and the addition of these projects marks
3 a 15-percent increase in expected output and a 31-
4 percent increase in total funding. So, a lot of
5 activity in the fuels area since last reporting.

6 So, here are the market transformation benefits
7 expected going forward, with the top band on these
8 ribbon charts being the high end and the low band,
9 obviously, being the low. You can see over time how
10 each fuel contributes to greenhouse gas reduction and
11 petroleum reductions.

12 So, for the New Fuels Project, you have 50-
13 percent increase in biomethanes, GHG reduction, so all
14 of these are in a positive reduction. Just the wording,
15 itself, is a little counter intuitive. A 7.3 percent
16 increase in biodiesel greenhouse gas reduction, and 8.4
17 for ethanol.

18 From a petroleum reduction perspective, you see
19 much more gains from the gasoline substitutes overall.
20 And that's around a 28-percent increase in biomethane.
21 Petroleum reductions, 1.4 increase in biodiesel
22 petroleum reductions and 2.8 percent increase in ethanol
23 petroleum reductions.

24 So, this is an overall summary of the market
25 transformational benefits. So, it might be a little

1 difficult to read, but there are five different
2 categories of vehicle price reduction, ZEV industry
3 experience, next-generation trucks and next-generation
4 fuels. So, overall, you get the total high and low
5 projections due to the market transformation effect on
6 the lower graph. And you can kind of see how those grow
7 over time. And that's an annualized version, not
8 cumulative.

9 So, we have the same plots for the petroleum
10 reduction. And these were the two main metrics that we
11 were targeting for the, I guess the outputs for
12 measuring the effectiveness.

13 So, with that out of the way, I wanted to look
14 under the hood just a little bit and discuss some of the
15 raw data that is provided to NREL by the Commission, and
16 how it is handled.

17 So, quickly, and Susan kind of showed a little
18 bit of this, too, this slide shows the various different
19 types of data that we receive and their grouping. This
20 data and their disposition are very important in that
21 they enable us to more accurately predict the benefits
22 as a function of funding.

23 Fuel production is calculated by using energy of
24 a known displaced fuel and expected through put.

25 For vehicle section, we are supplied with the

1 replaced vehicle, the fuel type, and the number of
2 vehicles.

3 EVSEs, we are given information about the charge
4 points, their geo location as to better model their
5 local effects.

6 And, finally, non-EVSE types, such as hydrogen,
7 all this data is combined to allow us to model benefits
8 provided in our final report.

9 So, there's been some interest in this in the
10 past, so I just kind of wanted to go over just expected
11 dispenses electricity methodology. There's the tool
12 EVI-Pro. And for EVSE through put, we start with the
13 target adoption rate, merge that with driving habits,
14 and then calculate the utilization by through put and
15 type. VMT is then calculated by combining this
16 information with efficiency.

17 So, this kind of nears the end of what I was
18 going to go through here. There is some backup, which
19 is mostly just equations, calculations, so people can
20 peruse at their own leisure.

21 This concludes the preliminary reports. This
22 was obviously just a summary of the 150-page full report
23 that is going to be coming out in the next couple
24 months. All right, thank you.

25 (Applause)

1 MR. RILLERA: Great. I'd like to thank you for
2 both of these presentations. And now, back to me.

3 We are now going to open the public comment
4 period. And what we'll do is we'll start with folks in
5 the room. If you have some comments, please come to the
6 podium up here and identify yourself, and your
7 affiliation. And we'll allow three minutes, three
8 minutes per commenter.

9 And then we'll go, of course, to online
10 afterwards. So, please.

11 MS. GARCIA: Hi, my name is Kathryn Garcia.

12 MR. RILLERA: Could you speak up a little bit
13 louder?

14 MS. GARCIA: My name's Kathryn Garcia. I'm with
15 Sierra Club California as a Policy Advocate. And we
16 have the --

17 (Moves to microphone)

18 MS. GARCIA: Hi, my name is Kathryn Garcia and
19 I'm a Policy Advocate at Sierra Club California.

20 That chapter is the legislative and regulatory
21 arm of the Sierra Club and we represent 400,000 members
22 and supporters statewide.

23 Thank you to the CEC for hosting this workshop
24 today and for convening the speakers.

25 I just wanted to lay out some figures for the

1 acceleration of electric vehicles over the last eight
2 years. Just as a starting point, in 2011 there were
3 four EV models, and about less than 2,000 electric
4 vehicles had been sold in California.

5 Conversely today, eight years later in 2019,
6 there are 46 models and over 600,000 have been sold here
7 in California. This is exponential growth and it
8 wouldn't have been possible without the State's
9 tremendous investments.

10 I'm glad to hear about the successful programs
11 that were highlighted today. For example, the West
12 Coast Electric Highway and other corridors, the Port
13 Community EV Blueprint, led by the Port of Long Beach,
14 and the electric school buses and other fleets that have
15 been deployed here in the State.

16 These examples of zero emission technology and
17 infrastructure are improving air quality across
18 California and reducing greenhouse gas emissions to
19 mitigate climate change.

20 Conversely, the use of biofuels is concerning
21 because they are generally not emissions free and their
22 use in combustion engines continue to contribute to
23 climate and localized air pollution. These stop gap
24 measures are detrimental to our communities.

25 Earlier today, we heard about the students that

1 were riding in electric school buses. I loved that
2 story. And to them, zero emission vehicles are not in
3 the distant future. Zero emission vehicles have
4 arrived.

5 We urge the CEC to continue accelerating the
6 adoption of zero emission vehicles, which is paramount
7 to meeting our air quality and climate goals. Thank
8 you.

9 MR. RILLERA: Great, thank you.

10 Any other comments in the room? Okay, let's go
11 online. Jonathan?

12 MR. JONATHAN: Yes, can you all hear me?

13 MR. RILLERA: Yes. Please, go ahead. Thank
14 you.

15 JONATHAN: Excellent, yeah. Hi, my name is
16 Jonathan and I'm with Stratos Fuel. I just want to
17 first thank the CEC for, I guess, putting this workshop
18 together today. It's been very informative and great to
19 hear all of the positive projects that have been going
20 on that the CEC has funded.

21 So, that being said, I'm here to kind of
22 encourage the CEC to continue funding of hydrogen
23 fueling stations. Stratos Fuel is the recipient of two
24 grants. One is for 100 percent renewable hydrogen
25 production through electrolysis. The second is through

1 shared mobility using fuel cell vehicles.

2 Our renewable hydrogen production project is
3 being built out over three phases. We would like to see
4 the third phase come online soon, and which would allow
5 us to reach economy of scale and reach a cost parity
6 close to gasoline.

7 Secondly, we'd like to also see increased
8 funding towards shared mobility. This allows us to have
9 an opportunity to deploy more fuel cell vehicles in
10 disadvantaged communities and to also grow demand at
11 existing hydrogen fueling stations. So, thank you.

12 MR. RILLERA: Okay, thank you, Jonathan.

13 We will now open up all of the lines, if you
14 have interest online in providing some comments. Any
15 comments online?

16 Okay, I think we'll go ahead and close the
17 public comment. Oh, excuse me, we have one more in the
18 room. Please, Hannah.

19 MS. GOLDSMITH: Hi, Hannah Goldsmith with the
20 California Electric Transportation Coalition, again.
21 Thanks for letting me go late.

22 I also want to thank staff and echo a lot of
23 what Kathryn from the Sierra Club said in terms of
24 really understanding the role of the different
25 technologies and where the Energy Commission is with

1 this program and funding those technologies. We're
2 seeing a lot of movement coming from the Legislature and
3 the Administration in terms of outlining where the State
4 is going on zero emission vehicles, and a lot of
5 regulations. And also, mandating electric vehicles,
6 like with transit agencies, and airport shuttle fleets.
7 And coming down the pike for medium- and heavy-duty
8 manufacturers and fleets more broadly.

9 And funding programs are going to be absolutely
10 essential to having a successful transition to zero
11 emission vehicles. And it does seem like there needs to
12 be a more coordinated response between State agencies to
13 determine what the funding levels are and how
14 appropriate they are to advancing zero emission
15 vehicles. And what the role is, also, for near-zero
16 emission in that transition.

17 We, at Cal-ETC have had a lot of internal
18 discussions about avoiding the rollout of near-zero in
19 application where zero emission technologies are here,
20 and are ready, so that we're not, you know,
21 transitioning from diesel or petroleum fuels to natural
22 gas or renewable natural gas, only to then be mandated
23 by the State to transition to zero emission fuels. It
24 seems like a wasteful investment in that circumstance.

25 So, I think it will be very important to ensure

1 that the investments that we're making are also
2 complementing the State's direction in that way. Thank
3 you.

4 MR. RILLERA: Great. Thank you, Hannah.

5 All right, I have a brief closing comment, an
6 observation on the day, if you will, that sort of frames
7 the beginning of the Clean Transportation Program and
8 where we are at today, in 2019.

9 The original establishing legislation occurred
10 in 2007. And in 2008, we had a 75-year economic event
11 that turned the world on its head. In particular, the
12 United States, and California as at that time it was not
13 the fifth largest economy.

14 There is something to be said about the
15 development, in this economic condition, for an emerging
16 technology program with which the Energy Commission was
17 tasked back in 2007.

18 Some of the comments from the panelists today,
19 with respect to those earlier projects were at that
20 time, was one of the key words, without CEC support,
21 sort of cling to this notion that there was very little
22 capital, there was very little support, very little
23 recognition of the technologies you heard today.

24 Fast forward 2019. We are in a pumping economy
25 where unemployment is 5 percent or less. We are the

1 fifth largest economy in California.

2 And what did we hear today? We heard that the
3 lessons learned from these funded projects are now our
4 core business strategies. We heard unprecedented speed
5 and scale. We heard exit strategies. We heard
6 significant ROI, return on investments, while achieving
7 return on equity. We heard quadrupling down on private
8 investments.

9 These are the initial guideposts and the current
10 guideposts for our investments for the Clean
11 Transportation Program. So, I wanted to leave this with
12 you as sort of final thoughts.

13 So, with respect to the next steps, identified
14 here is the docket in which you can provide your formal
15 written comments, and a link to that place to submit
16 those, the docketed information.

17 We have identified August 1st as the deadline in
18 which to submit these comments. You are more than
19 welcome to submit them on behalf of your organizations,
20 and your entities, and your affiliation.

21 You are also welcome to look at the questions
22 through the lens of your organization and provide that
23 to the docket, as well.

24 With that, I wanted to thank all the panelists
25 that participated and you, in the audience, that were

1 with us for the full day and the discussion. Thank you.

2 (Applause)

3 (Thereupon, the Workshop was adjourned at
4 4:03 p.m.)

5 -oOo-

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

REPORTER' S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 8th day of September, 2019.




Eduwiges Lastra
CER-915

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 8th day of September, 2019.



Barbara Little
Certified Transcriber
AAERT No. CET**D-520