

DOCKETED

Docket Number:	16-OIR-05
Project Title:	Power Source Disclosure - AB 1110 Implementation Rulemaking
TN #:	230188
Document Title:	Transcript of 10-07-2019 Lead Commissioner Workshop
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	10/15/2019 8:34:38 AM
Docketed Date:	10/15/2019

CALIFORNIA ENERGY COMMISSION

In the Matter of:

AB 1110 Implementation)
Rulemaking) Docket No. 16-OIR-05
_____)

LEAD COMMISSIONER WORKSHOP

WARREN-ALQUIST STATE ENERGY BUILDING
ART ROSENFELD HEARING ROOM, FIRST FLOOR
1516 NINTH STREET
SACRAMENTO, CALIFORNIA

THURSDAY, OCTOBER 7, 2019

10:00 A.M.

Reported by:

Peter Petty

APPEARANCES

COMMISSIONERS

Karen Douglas, Lead Commissioner

Eli Harland, Advisor to Commissioner Douglas

Kourtney Vaccaro, Advisor to Commissioner Douglas

Ken Rider, Advisor to Chair Hochschild

CEC STAFF

Lisa DeCarlo, Staff Counsel

Natalie Lee, Renewable Energy Division

Jordan Scavo, Renewable Energy Division

Ryan Kastigar

PUBLIC COMMENT

Steve Uhler

James Hendry, SFPUC

Dawn Weisz, MCE Clean Energy

Tim Tutt, SMUD

David Siao, Roseville Electric Utility

Scott Tomashefsky, Northern California Power Agency

Brian Biering, Ellison, Schneider, Harris, Donlan
American Wind Energy Association of California

Matthew Freedman, TURN

Samantha Weaver, East Bay Community Energy

Philip Schofield (via WebEx)

Susie Berlin (via WebEx)

APPEARANCES

PUBLIC COMMENT

Cynthia Vasko Clark, UC Office of the President

Sarah Dudley, CUE

Jessica Melton, Pacific Gas and Electric

Todd Jones, Center for Resource Solutions

Marcie Millner, Shell Energy

Margaret Miller, Avangrid Renewables

Doug Karpa, Peninsula Clean Energy

Todd Edmister, East Bay Community Energy

May Kelty (via WebEx), 3Degrees Group, Inc.

AGENDA

	<u>Page</u>
I. Welcome and Opening Remarks	4
Commissioner Douglas	
II. Introductions and Background	6
III. Staff Presentations on Proposed Regulations and Clarify Questions	8
Jordan Scavo, Energy Commission	
IV. Public Comment	11
V. Closing Comments	142
Commissioner Douglas	
Adjourn	142

P R O C E E D I N G S

1:44 P.M.

SACRAMENTO, CALIFORNIA, THURSDAY, OCTOBER 7, 2019

COMMISSIONER DOUGLAS: I want to welcome all of you here. I'm Commissioner Karen Douglas. I'm the Energy Commission's Lead Commissioner for Renewable Energy. And I'll just introduce everyone on the dais.

To my, let's see, to my -- let's start with my left, Ken Rider. He's Chief of Staff in Chair Hochschild's Office. And then to my right, Eli Harland and Kourtney Vaccaro, my Advisors.

I'm pleased to have this opportunity to engage with all of you as the Commission develops updates to the Power Source Disclosure Regulations, including updates required by Assembly Bill 1110.

And so during this workshop, Staff will present the draft regulatory language which was made available for public review on September 6th, 2019. Staff will present a summary of revisions to the draft regulations presented at the staff's March 6th, 2019 workshop and answer your clarifying, technical and implementation questions. And, of course, we'll be here to

1 listen to public comment as well.

2 Thank you all for taking the time to
3 participate today. I look forward to hearing
4 everyone's thoughtful comments and questions.
5 And what I -- and I will make a note. We did, as
6 I understand, have to change the WebEx number.
7 So it sounds like a number -- a good number of
8 people who wanted to participate by WebEx were
9 able to get the new number and get on this. But
10 we will also make a recording of this session
11 available online for those who aren't able to
12 hear it.

13 And so with this, I'll turn this over to
14 the Commission staff for the workshop
15 presentation.

16 MR. SCAVO: Hello. My name is Jordan
17 Scavo. I'm the Staff Lead for AB 1110
18 Implementation.

19 We're holding this workshop as part of
20 our rulemaking for updating the Power Source
21 Disclosure Regulations. I'd like to thank
22 everyone for attending, both in person and
23 remotely.

24 Now let me start with a bit of
25 housekeeping. For those of you who are not

1 familiar with this building, the closest
2 restrooms are located directly out this door.
3 There's a snack bar on the second floor under the
4 white awning up here.

5 And in the event of an emergency and
6 guidance evacuation, please follow Energy
7 Commission staff to the appropriate exits. We'll
8 reconvene at Roosevelt Park, located diagonally
9 across the street from this building, that
10 direction. Please proceed calmly and quickly.
11 And again, follow the employees with whom you are
12 meeting to safely exit the building. Thank you.

13 Copies of the workshop agenda, slides and
14 expressed terms are available on the desk near
15 the entrance, as well as online. We will take
16 oral comments after the staff presentation
17 concludes. And I'll answer technical questions
18 during the presentation at certain intervals.

19 For our participants joining us by WebEx,
20 please remember to keep your line muted until
21 you've been called on to speak.

22 Written comments should be submitted by
23 Monday, October 21st, although I think I heard
24 that we might be pushing out that date. We
25 greatly appreciate comments submitted early. And

1 I'll provide a link in the presentation so that
2 you can find the docket and instructions to file
3 written comments online.

4 I'll begin with an overview of the Power
5 Source Disclosure Program and the changes
6 required by AB 1110, then introduce the proposed
7 regulations and discuss how they differ from the
8 last version of the proposed regulations we
9 presented in March of 2019.

10 I'll pause at certain points to answer
11 any clarifying questions that folks have about
12 the proposed regulatory language. After that,
13 I'll outline our next steps and open the floor
14 for public comments.

15 The Power Source Disclosure was
16 established in 1998 and was designed to provide
17 clear and accurate information about the sources
18 of consumers' electricity.

19 Retail electricity suppliers are required
20 to report their generation sources wholesale
21 sales and retail sales annually. These data are
22 used to construct individual power mixes for each
23 electric service portfolio and for California as
24 a whole. The Energy Commission uses information
25 submitted in annual power source filings, as well

1 as other sources, to help construct California's
2 total system power mix. Retail suppliers then
3 disclose to their customers a power content
4 label, which displays the power mix of the
5 customer's electric service product alongside
6 that of the state's total system power mix.

7 Assembly Bill 1110, authored by Assembly
8 Member Phil Ting, was signed into law in the fall
9 of 2016. The new law makes a number of changes
10 to the Power Source Disclosure Program. It
11 requires retail suppliers to disclose the
12 greenhouse gas emissions intensity associated
13 with each electricity portfolio. A GHG emissions
14 intensity is a rate, a mass quantity of emissions
15 per unit of electricity. AB 1110 requires the
16 Energy Commission, in consultation with the
17 California Air Resources Board, to develop a
18 method for calculating facility level GHG
19 emissions intensities and overall GHG emissions
20 intensities for each electricity portfolio and
21 for California as a whole.

22 AB 1110 also requires the disclosure of a
23 retail supplier's unbundled renewable energy
24 credits, or RECs. These are RECs that have been
25 disassociated from the electricity with which

1 they were generated. AB 1110 provides the Energy
2 Commission with the discretion to determine the
3 appropriate method for a retail supplier to
4 report and publicly disclose its unbundled RECs.

5 In addition, AB 1110 contains a provision
6 requiring that all marketing claims pertaining to
7 a retail supplier's GHG emissions intensity
8 should be consistent with the methodology adopted
9 by the Energy Commission through this proceeding.

10 We published the expressed terms on
11 September 6th. Expressed terms is another way of
12 referring to proposed regulatory language. These
13 proposed regulations are an evolution of Staff
14 implementation proposals we've issued since the
15 summer of 2017.

16 I'll start by noting, the new version of
17 the proposed regulations is largely consistent
18 with the version we published in February of this
19 year and presented in March. Unbundled RECs will
20 still be required to be disclosed separately and
21 not counted towards either an electricity
22 portfolio's fuel mix or GHG emissions intensity.
23 Firmed and shaped imports, meanwhile, will still
24 be -- will still use the split treatment
25 discussed in the last proposed regulations.

1 There are some new revisions to this
2 version of the proposed regulations, such as the
3 reporting of unspecified power and CAM resources,
4 and the method for reconciling net procurements
5 with retail sales. I'll address such differences
6 in more detail later in this presentation.

7 The definition section is broadly
8 consistent with the version we released in
9 February of 2019. This section features several
10 modifications designed to incorporate statutory
11 elements or to update the program to reflect the
12 changing industry landscape. We made one
13 substantive change to the definition section that
14 reflects our original intent and a basic tenant
15 of resource accounting across the industry. To
16 that end, we've clarified that a specified
17 purchase recognized under this program must have
18 been procured under a preexisting contract
19 executed prior to the generation of the
20 electricity being procured.

21 Are there any questions about that change
22 or about the definition section of the proposed
23 regulations?

24 MR. UHLER: Steve Uhler, U-H-L-E-R. A
25 question about a private contract, and I've

1 docketed that already. I was hoping that you'd
2 answer that. Private contract, you don't have a
3 definition for that. I gave you legal -- or a
4 document from a university that talks about
5 private contract, public contract, and impaired
6 contracts, I'd like to have that clarified. Do
7 you leave out public contracts? Because they'll
8 just -- the public contracts could be impaired
9 under the contract clause of the U.S.
10 Constitution.

11 The one is you have some definitions in
12 here in quotes. Those words are not used in any
13 of the expressed terms. It has -- you know, it's
14 around what is a portfolio. You have a number --
15 you have like three of them in a row and you only
16 use one of them. That makes it unclear.

17 And your building standards, you just
18 went through a whole situation of complying with
19 the EPA 11394.5, or something like that, for
20 clarity, where they've removed all these
21 redundant and unused definitions, so I'll further
22 docket that.

23 So under the definitions, also, is there
24 a problem with putting paragraph numbers or
25 letters on those? You used to have them. It

1 would be good, particularly -- yeah, it would be
2 good to have that section citable through a
3 number system as opposed to just the words.

4 Thanks.

5 MR. HENDRY: Good afternoon. James
6 Hendry, San Francisco PUC.

7 I'm just trying to reconcile the
8 clarification that says, "Specified purchase must
9 be substantiated through a preexisting contract."
10 And -- but when you go that regulations, it has
11 two criteria, which it has first that one, and
12 then it says, "And they must have E-Tag for all
13 electricity delivered that is imported to a
14 California balancing authority." And then it
15 goes on to say if you don't have both one and the
16 second one, you get assigned, basically, the
17 unspecified emissions rate.

18 And so I understand, you're trying to
19 deal with out-of-state power and the Bucket 2
20 issue. But if you have an in-state transaction
21 where we are selling greenhouse gas power to
22 someone else, we do it under a preexisting
23 contract, but there are no E-Tags associated with
24 that. So I think where you have, you know, you
25 have both one and two, I think you mean it has to

1 be a preexisting contract and, if applicable, E-
2 Tags associated with out-of-state delivery, I
3 think.

4 MR. SCAVO: Thanks. Yeah, that's right.
5 Okay.

6 Any other questions about the
7 definition's section? Okay.

8 Mr. Uhler, you had a few questions kind
9 of embedded in that comment. I'll see if I can
10 cover all of them. There --

11 MR. UHLER: (Off mike.) I'll be ready
12 for (indiscernible).

13 MR. SCAVO: Would you mind repeating
14 them?

15 MR. UHLER: Okay. Public contract. You
16 have a situation under custom portfolios where
17 you refer to, if it's a public -- or a private
18 contract, excuse me, private contract, where you
19 don't have to provide a power content label. Now
20 private contract, and what is submitted to the
21 docket, there's information there describing
22 private contracts as a contract between two
23 private citizens. But there, you don't -- maybe
24 that's not the good term to use because there are
25 public contracts. And that document attached to

1 my initial statement even cites that it was --
2 public contracts were the first ones to be
3 challenged under the contract clause. And that's
4 -- that allows impairment.

5 I'm largely interested in this because
6 I've had a contract with SMUD and never got a
7 power content label. But now I may be coming and
8 being enlightened to the notion that they can
9 impair those contracts at will. And if that's
10 the case, then I'd like to -- you know, and there
11 needs to be more clarification there.

12 Are you just simply accepting that they
13 can impair those at will and that's the balance,
14 that's the public contract side, and you're not
15 going to talk about that? Or my suggestion was
16 to call it, like the statute calls it, a standard
17 contract or tariff is what is used in many places
18 in the Public Utility Code, referring to
19 something that is standard as opposed to
20 something that is customer, so that would be one
21 of them.

22 Do you have any reason why you choose
23 private contract?

24 MR. SCAVO: That's an area where we may
25 require additional clarification to clear up our

1 intent there. These are meant to be bilaterally
2 negotiated contracts between a retail supplier
3 and some other entity. But as you say, these are
4 meant to cover things that aren't standard
5 offerings or tariffs.

6 MR. UHLER: Okay. That's what is meant,
7 but right now it looks like a private contract
8 that was -- or a public, excuse me, a public
9 contract that was done that way. In other words,
10 a POU makes a contract. Do they all, all of
11 those, all the POUs have to give out power
12 content labels regardless?

13 MR. SCAVO: Regardless of what?

14 MR. UHLER: Whether it's one person
15 selects that tariff? That is -- and you need to
16 be more clear on what -- where you don't have to
17 supply a power content label.

18 It's the large reason why I'm here. My
19 basic feeling is the public hasn't been notified
20 with power content labels. They don't know
21 what's in their electricity or what percentages.
22 And I'm trying to get it clear of why I never got
23 power content labels. So I'm coming to this, you
24 know, rulemaking to make sure that I know
25 exactly, and then I can tell my friends, oh, when

1 you buy that, they can actually take the credits,
2 never give you a power content label, if they are
3 a public entity who's supplying that. And that's
4 what I'm looking for. I want clarification.

5 MR. SCAVO: Well, I appreciate the
6 comment. As I said, any customer that's under a
7 standard tariff or offering should get a power
8 content label. And we can use your feedback to
9 consider additional clarifications to the
10 regulatory language.

11 MR. UHLER: Okay. The definitions' part,
12 you have electricity portfolio, then you have
13 offering, electricity offering and electricity
14 supply portfolio. The second two, if you search
15 your expressed terms, you don't use the second
16 two. What are they there for?

17 MR. SCAVO: I can appreciate why that may
18 seem confusing. That was actually an effort to
19 try and improve the clarity of the regulations.
20 Those are terms that are either used in the
21 statute because the enabling statutes use a
22 couple of different terms, and one of the terms
23 was used in the existing version of the
24 regulations. This is meant to collect all the
25 terms in one place and establish that they all

1 mean the same thing. And in going forward, we're
2 sticking to just a single term in the
3 regulations.

4 MR. UHLER: Okay. Portfolio, electricity
5 portfolio seems to be the single term.

6 MR. SCAVO: Correct.

7 MR. UHLER: Okay. This is another point,
8 is some utilities have many tariffs, many
9 portfolios. They have a portfolio for all-
10 electric house, all-electric houses with well
11 pumps, and so on. In the past, there's only one
12 power content label.

13 I've made a request for prior power
14 content labels, like for SMUD, can you give me
15 one? And I gave their brochure on all of their
16 tariffs for residential. And what was returned
17 to me, nearly -- I mean, there was a few power
18 content labels but they didn't -- I would like to
19 know, in the case where you have all-electric,
20 all-electric with well pump, and some of these in
21 the past, what happened to those power content
22 labels? Now if you have a time-of-use rate, a
23 net-metering rate and such, will there be a power
24 content label? And since that metering is not a
25 retail sale, could that be another reason?

1 Because solar shares is not a retail sale.
2 That's a net-metering. So there is -- there's no
3 sale, no commodity exchanged for money. How are
4 you accounting for those type of things?

5 Most of this stuff is around this
6 definition, what is this portfolio? And which
7 ones can, when you purchase this, can you expect
8 to actually get a power content label, is what
9 I'm after?

10 So do you follow?

11 MR. SCAVO: Closely enough, I think.

12 MR. UHLER: Yeah.

13 MR. SCAVO: So I think in those
14 situations you described, I would expect that
15 those customers should get a power content label.
16 Unless they have like a custom contract with
17 their utility or retail electricity provider,
18 they should receive a power content label.

19 I know that you've asked about prior
20 labels in the past. That's, I think, outside the
21 scope of this rulemaking. It's also outside my
22 particular area of work. I can't answer that
23 question.

24 MR. UHLER: Okay. It's the only -- and
25 the reason why I bring it up is before you had

1 just simply an offer or a tariff, that's all it
2 had to be to get a power content label, an offer
3 or a tariff. So why are you breaking it up into
4 all these things? Because an offer or a tariff
5 sounds like it covers everything. And now you're
6 going into, well, all these different other terms
7 that are related to portfolio and stuff. That's
8 why I'm asking. It's like why? Why does it need
9 additional definition? Why isn't offer or tariff
10 enough in order to know that you should get a
11 power content label?

12 Because this adds a lot of confusion.
13 It's like, oh, you didn't get this one because
14 you were a this or you were a that. It's an
15 offer or tariff. And then the utilities use a
16 tariff. And you have a tariff with a number and
17 an ID, a separate one. I see you put this
18 additional language in here. And that's
19 something that might go into some other guideline
20 to let your folks know internally that, oh, yeah,
21 all that has to do is have a different name and
22 we give it a power content label.

23 So are you following what I'm saying
24 there when I'm talking about why do we need
25 anything beyond an offer or a tariff? Because it

1 adds more things to cause more confusion to
2 people. It's like what is a portfolio? I know I
3 get a bill and I've got a residential with gas
4 home heating, or I've got a time-of-day rate, or
5 I've got a net-metering rate. Why not just offer
6 a tariff? Justify the additional language that
7 can add confusion.

8 MR. SCAVO: Well, as I've said, there's
9 one exception in there that's spelled out in the
10 definitions that provides retail suppliers with
11 the ability to not a submit power content label
12 in the case in which they have a custom contract
13 with a customer. The reasons for that are laid
14 out in the initial statement of reasons. But I
15 do, I think, understand the concerns you're
16 voicing here and appreciate the comment. That's
17 something that we can use as we're evaluating
18 further changes to the regulatory language.

19 MR. UHLER: Okay. But you went back to
20 the one related to the custom, and I'm talking
21 about just straight, why are you using portfolio?
22 Why don't you just use offer or tariff, like in
23 the past? What it is? What's the big deal with
24 that? If you have, through a tariff or a
25 schedule from a utility, it's printed on your

1 bill, that should be enough to get to a power
2 content label. Then you could see all the other
3 folks who are living in a house with gas heating
4 and electricity and what electricity they got.
5 And they're -- when they used it, because, you
6 know, people with gas stoves are like, hey, I
7 love this time, this rate, I can turn on this
8 stuff.

9 So that's what I'm talking about. Are we
10 going to see power content label from SMUD for
11 houses that have gas heating? Is it going to be
12 broken up? Because with time of day, that is
13 actually -- everybody's custom at that point.
14 Everybody has a custom use. Everybody is --
15 particularly if you have gas and you don't
16 have -- that you're not all electric, because you
17 have a choice and you cannot use that. You can
18 consume energy that other folks don't get to
19 consume through using gas. That's a separate
20 thing.

21 MR. SCAVO: As I mentioned, we went
22 with -- we laid out these terms because they're
23 either used in statute or used in the existing
24 regulations. The purpose of this was to not --
25 to try and consolidate terms. I appreciate the

1 perspective that there could be different terms
2 we could use that are maybe more illustrative of
3 what we're trying to convey. I can only say that
4 the terms we've gone with were semantic choices.
5 But we appreciate the comment.

6 And your second question about whether
7 you would receive a power content label if you
8 are a gas customer of SMUD, I'm not --

9 MR. UHLER: Well, no, what I'm talking
10 about is the situation for people to know their
11 impact. Because all of this regulation and all
12 of this stuff has little effect if the folks who
13 are pulling the levers and turning the lights on
14 and doing whatever have no idea how much
15 greenhouse gas is delivered to them, and
16 that's -- we're missing out on a lot of
17 horsepower. A lot of people think, oh, I moved
18 in this house, got a few solar panels on the
19 roof, I'm guilt-free.

20 COMMISSIONER DOUGLAS: All right. So,
21 Mr. Uhler, I'm just going to ask that we -- you
22 know, this is the time for clarifying questions
23 and it's helpful, but we also have to move on.
24 So I'm just going to ask that you make points.
25 If Jordan has a quick answer, he can give it.

1 Otherwise, we've got your comment and you can
2 follow up in writing and get to it, just so that
3 we get through everybody's comments and questions
4 and get through the agenda today.

5 MR. UHLER: May I make a suggestion?

6 COMMISSIONER DOUGLAS: Please.

7 MR. UHLER: I think I'm the only one
8 who's made comments pre, in plenty of time --

9 COMMISSIONER DOUGLAS: You did.

10 MR. UHLER: -- for somebody to answer all
11 of those.

12 COMMISSIONER DOUGLAS: That is -- you did
13 submit comments early. However, if Jordan has a
14 ready answer, he can give it. If he doesn't,
15 then I think we should move on.

16 MR. UHLER: I understand that. I would
17 appreciate feedback --

18 COMMISSIONER DOUGLAS: Yes.

19 MR. UHLER: -- when I turn in a comment,
20 through the docket, to get feedback. You should
21 go through the docket. I've gotten no feedback
22 on any of my comments. So I am --

23 COMMISSIONER DOUGLAS: We are in the
24 process.

25 MR. UHLER: -- I am here --

1 COMMISSIONER DOUGLAS: Please ask your
2 questions. But we don't want --

3 MR. UHLER: Yeah.

4 COMMISSIONER DOUGLAS: -- to spend --

5 MR. UHLER: I don't want to burden this
6 time for anybody else either. I'm just saying,
7 just answer the comments and do it in the docket.

8 Your public record's people sent me some
9 stuff and I said, I know it says right there,
10 answer it in the docket. Don't send me an email
11 because it's not on the record, according to
12 1208.

13 So that's all I'm saying. I would be up
14 here if you had already answered them.

15 All right, I have a better question.

16 MS. DECARLO: Lisa DeCarlo, really
17 quickly, Energy Commission, Staff Counsel.

18 Just in terms of the formal APA process,
19 we will be responding to all documents -- or all
20 comments and questions submitted through the
21 dockets during the formal comment period,
22 certainly by the time the final statement of
23 resources is produced and docketed. We can't
24 commit, necessarily, to responding prior to that.
25 But certainly the formal APA process does require

1 a formal response to every comment submitted,
2 so --

3 MR. UHLER: It does, but it's not very
4 efficient -- Steve Uhler again -- not very
5 efficient to not respond to -- particularly when
6 somebody takes the time to put in the comment and
7 have it laying out there. They didn't even make
8 these simple corrections for citing issues in
9 what you're showing here today. That will come
10 up later, I guess, when you get to that further
11 down and you get into 1393. You should at least
12 do that.

13 Thanks.

14 MS. WEISZ: I just had a brief
15 clarification. This is Dawn Weisz. I'm the
16 President of the California Community Choice
17 Association.

18 Many of our members, over the last year,
19 have reached out and made comments regarding the
20 EIM transactions and determining what the right
21 mechanism would be to reflect those in the power
22 content label, probably by using the CMRIs that
23 are transferred, along with those EIM
24 transactions. We don't see any of that reflected
25 here. And I just wanted to ask if there's been

1 any progress on that and if that will be
2 incorporated into the final regulations?

3 MS. LEE: Could I ask, Dawn, would you
4 mind if we held that until the end of the
5 presentation to address --

6 MS. WEISZ: Sure.

7 MS. LEE: -- as a broader topic?

8 MS. WEISZ: Of course. Thank you.

9 MS. LEE: Thank you, Dawn.

10 MR. SCAVO: Any other questions about the
11 definitions section? Okay.

12 The following section is 1392. There are
13 no substantive changes to that section from the
14 current regulations. Section 1392 pertains to
15 obsolete reporting requirements for generators
16 and balancing authorities.

17 So I'm just going to move on to section
18 1393. This section lays out the accounting
19 methodology underpinning the program. Most of
20 this should be familiar to folks who have
21 followed this proceeding.

22 Consistent with the February 2019 version
23 of the proposed regulations, unbundled RECs will
24 not be used to adjust the fuel mix or GHG
25 emissions of electricity portfolio under this

1 program. The fuel mix will be calculated
2 according to the fuel type of the procured
3 electricity. In the case of firmed and shaped
4 imports the fuel type of the procured RECs,
5 rather than that of the substitute power, will be
6 used to calculate the fuel mix.

7 The GHG emissions intensity will be
8 calculated according to the sources of
9 electricity that deliver power to a California
10 balancing authority.

11 For firmed and shaped imports, this means
12 that the GHG emissions associated with the
13 substitute power will be used to calculate the
14 emissions intensity of the portfolio, rather than
15 the GHG emissions associated with the source of
16 the RECs.

17 This new version of the proposed
18 regulations retains the GHG emissions exclusions,
19 subject to certain provisions, as outlined in the
20 February 2019 version of the draft regulations.
21 This means that the GHG emissions of firmed and
22 shaped imports under a contract executed prior to
23 January 1st, 2019 will be exempt from disclosure
24 on the power content label. This section also
25 details rules for an emissions' adjustment based

1 on banking excess zero-GHG credits in a prior
2 year.

3 We know this statutory provision applies
4 to Hetch Hetchy. Thus far, we haven't heard from
5 stakeholders identifying other procurements that
6 might meet the parameters we've laid out.

7 This version of the proposed regulations
8 contains a few substantive updates to the
9 February 2019 version. The first update to this
10 section proposes a different method for
11 calculating unspecified power. Under this
12 proposal, unspecified power will be determined by
13 comparing total specified procurements to retail
14 sales. If retail sales exceeds total specified
15 procurements, then the difference will be
16 reported by unspecified power. If the total
17 specified procurements exceeds retail sales, then
18 the retail supplier will report zero procurement
19 of unspecified power.

20 The second change pertains to the share
21 resources procured at the direction of the CPUC,
22 such as those procured through the cost
23 allocation mechanism, or CAM. In this proposal,
24 investor-owned utilities that hold contracts with
25 CAM resources will only claim the portion of CAM

1 resources attributed to the investor-owned
2 utility by the CPUC. The remainder of CAM
3 generation will be considered grid power with the
4 emissions intensity of unspecified power and will
5 be claimed by retailer suppliers when they report
6 retail sales in excess of specified procurements,
7 as I've detailed on the previous slide.

8 The third update adjusts how specified
9 purchases are attributed to retail sales. This
10 proposal outlines a reduction order for
11 situations in which total specified purchases
12 exceeds retail sales. Under this provision,
13 natural gas resources will be the first sources
14 to be proportionately reduced so that total
15 specified purchases equals retail sales. If the
16 electricity portfolio contains insufficient
17 natural gas generation to cover the excess
18 specified purchases, then each line item of coal
19 and other fuels will be proportionately reduced.
20 If all these fuel types are reduced to zero and
21 there is still excess specified purchases, then
22 large hydro and nuclear will be proportionately
23 reduced.

24 Let me pause here and ask if there are
25 any questions about those provisions I've just

1 outlined or section 1393 in general?

2 MR. UHLER: Yeah. It's Steve Uhler.

3 Under A6, it sounds like you're
4 suggesting that this over-purchase is not
5 associated with the use of retail sales. I
6 submitted something this morning to try to sum it
7 up.

8 What we use in industry if we want to
9 figure out if we want to deliver a certain amount
10 is we have a yield factor. And the yield factor
11 would say, okay, I want to deliver 100 but I have
12 losses, so -- and 20 percent losses or so, so I
13 need 120 or so in order to deliver those. Those
14 costs are still involved. Those greenhouse gases
15 still go in the air.

16 There is, let's see here, a requirement
17 under 1393(c), which I'll link these two together
18 because the measurement that's required is the
19 greenhouse gases for retail sales related to
20 total system power. Those are associated with
21 the retail sales. If they're not, you need to
22 have a power content label to tell us how much
23 greenhouse gases are being consumed by the
24 utility who overbuys.

25 Also, loading order, job one is

1 efficiency. This is a number of efficiency. So
2 this is not -- it makes the power content label
3 very inaccurate. It can be extremely inaccurate.
4 Don't know how far off it's going to be because
5 we don't know how much of this stuff has been
6 buried.

7 So you should use a yield factor and then
8 you multiply it times the retail sales against
9 the various generating facilities to capture the
10 total amount of greenhouse gases. It may take
11 1.18 kilowatts of generation to deliver one.
12 There are still greenhouse gases entirely
13 involved and associated with that one kilowatt up
14 to that 1.18.

15 So this doesn't meet like the second
16 to -- paragraph of the statute, that it has to be
17 accurate, first and second, it has to be
18 accurate. This is not at all accurate. And if
19 you ran a business this way, hiding all your
20 losses, it wouldn't be good.

21 So in no way can this mechanism be used
22 to choosing, well, we'll remove natural gas and
23 coal and stuff like that. No. It should
24 actually be the other way around, if you're going
25 to consider it. You remove the renewables.

1 Because some of those renewables are causing
2 these undeliverables with spinning reserves and
3 so on and so forth to that had to be purchased.
4 So in no way should this be done. If this is
5 prescriptive, I say the performance -- a
6 performance method would be better, and it would
7 be to use a yield factor. And I'll do more
8 written comment on that but in no way should this
9 be used.

10 MR. SCAVO: Thank you for your comment.

11 MR. HENDRY: Good afternoon. Again,
12 James Hendry, San Francisco PUC. I had just two
13 clarifying questions.

14 The first, on the third bullet point
15 about reconciling specified purchases with retail
16 sales is the statute says you only report retail
17 sales. I'm unclear how you then can do this
18 proportional allocation methodology?

19 And also, if you have, again, if you look
20 at resources as opposed to contracts, if you have
21 a resource and it's under contract to multiple
22 people, including yourself, under the power
23 content label, you basically report the total
24 output and then you report what's resold to
25 others. And so what's resold to others could be

1 a portion of that output. And rather than that
2 being assigned to them as a retail sale, it
3 appears that, under this methodology, a portion
4 of those retail sales could get allocated back to
5 you as the owner of the plant.

6 And so I'm just trying to reconcile the
7 two of those in trying to make sure it's
8 consistent with the requirement that we're
9 focused just on retail sales.

10 MR. SCAVO: Can you restate that second
11 question please?

12 MR. HENDRY: Under the power content
13 label, take, for example, you own a power plant
14 and you, you know, you report in the power
15 content label total output of the plant. You
16 then report what you've resold. And what you
17 resold is, basically, could be a specified
18 purchases. And assume it's under contract, that
19 you have agreement that you're going to resale
20 this output to somebody else as a wholesale sale
21 to them, what happens is two things. The person
22 who buys it then is reporting it as a retail sale
23 on their end. But under this weighted
24 methodology, it's possible that the seller, the
25 person who owns the plant who is selling this

1 power is a specified purchase, would also have
2 end up having to report it under this
3 proportional allocation of trying to reconcile
4 specified purchases with retail sales.

5 MR. SCAVO: Okay. So what we've proposed
6 isn't a major departure from how the program has
7 operated for years. That issue that we meant to
8 address is that in statute the denominator for
9 these calculations is established to be retail
10 sales. We know that in most cases total
11 procurements aren't going to equal retail sales,
12 so we need some way to balance those out so that
13 the math works out correctly.

14 In the case you described, if the utility
15 resold at wholesale power from some generator it
16 owned, that generation would be deducted on
17 Schedule 1. It wouldn't be subject to this
18 reduction order.

19 MR. HENDRY: Okay. I take it that was
20 your reading but having read through this several
21 times, I admit, I'm still trying to understand
22 the clarity of how you get from that to that
23 conclusion based on the subsequent, like
24 equations four through six. It's -- I'm trying
25 to understand that, so that's why I'm asking this

1 question.

2 Thank you.

3 MR. SCAVO: Thank you.

4 MR. HENDRY: And then one question on
5 CAM. If you could go back a slide on the
6 treatment of CAM resources, on how they'd be
7 reported? They're just reported by the investor-
8 owned utility as a separate line item and then
9 get attributable to grid power. But then how
10 does that show up if you're not the IOU? Does it
11 show up in the CCAs or publicly-owned utilities'
12 power content label anywhere then?

13 MR. SCAVO: It's not specifically
14 displayed in the power content label.

15 MR. HENDRY: Okay.

16 MR. SCAVO: That remainder generation is
17 considered to be serving grid power. So any
18 entity that reports unspecified power on their
19 filings will --

20 MR. HENDRY: Get their share of it?

21 Okay. Great.

22 MR. SCAVO: Correct.

23 MR. HENDRY: Thank you. That's -- I was
24 a little unclear on that. Thank you.

25 MS. LEE: Can I make a request? If you

1 speak, when you do announce your name, could you
2 also state your affiliation? And if you have a
3 business card with you, if you could leave that
4 with our Court Reporter, it will greatly help us.

5 MR. TUTT: Good afternoon. Tim Tutt from
6 SMUD. I guess I just had a clarifying question
7 about the treatment of what's called PCC-2
8 resources. And as I understand it, if you have a
9 contract signed before January 2019 the contract
10 will show up as renewable on your power content
11 label with zero GHG emissions associated with
12 that transaction. But if it's after that, it
13 will show up as renewable on your power content
14 label with GHG emissions associated with the
15 transaction. And I'm just wondering what the
16 rationale for the disparate treatment of those
17 two situations is?

18 MR. SCAVO: The rationales are laid out
19 in our additional statement of reasons.

20 Just to keep it very brief, this
21 grandfather proposal was proposed as a response
22 to stakeholder interest. I think, if you'll
23 recall, in earlier versions of our implementation
24 proposals there wasn't this grandfathered
25 treatment.

1 MR. TUTT: Understand. So stakeholders
2 suggested that they had entered into these
3 contracts with good -- in good faith and they
4 wanted the procurement that they thought they
5 were purchasing honored by this process?

6 MR. SCAVO: Correct.

7 MR. TUTT: Yeah. So are you suggesting
8 then that in the future you don't want parties to
9 enter into these kinds of contracts?

10 MR. SCAVO: We don't give guidance on the
11 types of contracts that parties should enter
12 into.

13 MR. TUTT: But if an entity wishes to go
14 buy renewable power with substitute power, they
15 may not do that because there's no GHG emissions
16 associated with that renewable procurement; is
17 that correct?

18 MS. LEE: Can I speak to that? I think
19 the issue here with the date was that the state
20 had not, before this date, issued guidance to
21 entities as to how GHG emissions would be
22 calculated. So for contracts entered into
23 previously, the state had not provided that
24 guidance. The state has now provided that
25 guidance and the rules, so that's justified the

1 difference in the treatment. And we're certainly
2 not encouraging or discouraging any specific type
3 of purchase or contract arrangement. We're
4 simply stating the rules as to how, based on the
5 contracts that are entered into, how those
6 emissions must be disclosed.

7 MR. TUTT: Sure. So Product Content
8 Category 2 contracts are allowed under the RPS,
9 up to 25 percent of your procurement; right? Is
10 it fair to say that if you have to disclose on a
11 power content label GHG emissions associated with
12 that renewable procurement, that eligible
13 renewable procurement, that that will act to
14 discourage that type of contract?

15 MS. LEE: I'm just looking to see if any
16 of the other parties would like to speak as well?

17 Yeah, I think that that would be an
18 appropriate public comment to be addressed in the
19 rulemaking. Specific to this workshop, I
20 understand the concern. But, again, I can only
21 say that the rules are being established specific
22 to our statutory direction to provide consumer
23 information.

24 MR. TUTT: Okay. Thank you.

25 MS. LEE: Thank you, Tim.

1 MR. SIAO: Hello. David Siao with
2 Roseville Electric. And thank you, Commission,
3 for holding this workshop and speaking with us
4 today.

5 Just wanted to ask a question related to
6 what Tim was just discussing with you,
7 specifically regarding section 1393(d)(1)(B). So
8 this is regarding contracts after 2019 or
9 contracts signed before then that are either
10 extended or amended and, you know, whether they
11 can or can't count towards being clean?

12 Roseville has a situation where we have a
13 Bucket 2 contract. It's been, I don't know if I
14 would call it amended, but we have had an update
15 to one of our exhibits where our counterparty is
16 clarifying what resources we are getting the
17 Bucket 2 resources from. So I just wanted a bit
18 of clarification on what rises to the level of an
19 amendment? Is it any change or any update, or is
20 it something that's more material than that?

21 Thank you.

22 MR. SCAVO: That's not a question I think
23 I could answer right now but it's something that
24 we'll bear in mind to as we move further in this
25 process. Thank you.

1 MR. SIAO: You're welcome.

2 MR. SCAVO: Excellent. Thank you.

3 MR. TOMASHEFSKY: Thanks. Good
4 afternoon. Thanks. Always appreciate the
5 opportunity to have a workshop and to have a
6 conversation about things like this.

7 With respect to large hydro, going back
8 to the reconciling of procurement and retail
9 sales, the reduction order, at least
10 mathematically, I understand what you're trying
11 to do. And if you look at the way it's done on
12 the current label, there's sort of a pro rata
13 reduction, so this sort of clarifies some of
14 that. So you've got sort of a priority order in
15 terms of how you take it out of there.

16 With respect to a lot of public utilities
17 with large hydro, there is no way to basically
18 lay off that load. That load is targeted to
19 retail sales. It is targeted to the communities
20 that are being served. And so as soon as you do
21 that, if you get to a point where you're starting
22 to lay off certain elements, you can provide some
23 variations in terms of what you're trying to show
24 in terms of the resource mix and your emissions
25 profile, so there's that element.

1 I will say that in abundant hydro years,
2 and we've actually had a couple of good ones in
3 the last few years, we are now getting into a
4 situation where some utilities are well over 100
5 percent. And large hydro is not the one that
6 gets laid off. You may not get down to that
7 mathematically in certain circumstances. But as
8 we get closer to dealing with the 100 percent
9 carbon goals of 2045 and getting closer to the 60
10 percent threshold, that becomes more of a
11 problem, just mathematically.

12 So I wanted to flag that for you because
13 you certainly don't want to get into a situation
14 where you're providing information to your
15 community that doesn't reflect the fact that you
16 have a lot of hydro in your portfolio, especially
17 when you can't lay it off, and especially when
18 we're now in the process of getting ready to sign
19 30-year extensions on existing agreements.

20 So we definitely do not want to downplay
21 the value of large hydro in any community's
22 portfolio, and this could do that. It doesn't
23 necessarily do it in all cases.

24 The other question is more of a
25 clarification in terms of the relationship

1 between the sales that's normalized to 100
2 percent and the carbon emissions that are
3 actually going to show up on another portion of
4 the label. Are those two both backed down? So
5 to the extent that you are normalizing some gas
6 resource out of the equation, does it also then
7 normalize one component of the emissions profile
8 that is represented, or are they operating
9 independently so you don't really have a one-to-
10 one comparison between the resources that are
11 actually showing up on the left side of the label
12 and the emissions factor that shows up in the
13 bar?

14 MR. SCAVO: Would you mind rephrasing
15 that? I'm not sure --

16 MR. TOMASHEFSKY: Sure.

17 MR. SCAVO: -- I understand the question.

18 MR. TOMASHEFSKY: So with respect to you
19 have a certain amount of resource that shows up
20 on the left side of the label today, which gets
21 normalized to 100 percent. And you've got a
22 scenario to now deal with normalizing to 100
23 percent here. Now we throw in an emissions
24 intensity level. So are you taking only the
25 emissions associated with what is remaining or

1 what's attached to the 100 percent normalized
2 amount or are you taking the emissions that's
3 associated with all of your mix, and therefore --

4 MR. SCAVO: Yeah. So the emissions
5 calculation takes place after this reduction
6 order is applied that reconciles total purchases
7 with retail sales. So whatever's left over that
8 is considered to be attributed to retail sales,
9 those are the sources that form the basis for the
10 emissions calculation.

11 MR. TOMASHEFSKY: So basically, if you
12 lose a megawatt of natural gas, you would take
13 that megawatt of natural gas out of the equation?

14 MR. SCAVO: Correct.

15 MR. TOMASHEFSKY: Okay. All right.

16 Thank you.

17 MS. LEE: Scott, this is Natalie Lee.
18 Could I ask, in the circumstance that you were
19 discussing for abundant hydro years, and could,
20 in making your comment, could you give us, you
21 know, an anonymous but fairly practical example,
22 so we can take a look if the concern is that
23 we're restricting the placement of when you would
24 deduct hydro, where you would preferentially want
25 to have flexibility in, perhaps, reducing a

1 different category, other than the hydro?

2 MR. TOMASHEFSKY: Sure. Sure, we can do
3 that. I think that the problem that you'll --
4 that we run into, and I think that's just sort of
5 the ongoing concern that we've expressed in terms
6 of how to reconcile the power content label with
7 the programs that we're dealing with, the RPS
8 Program and the Climate Program, is that we have
9 a way of dealing with that now within the RPS
10 Program, where we step back on the renewables.
11 So in one respect, you're doing that and you're
12 normalizing it in the compliance aspect of the
13 RPS Program, but then it doesn't really do the
14 same thing here.

15 So they're not exact sciences anyway.
16 But what this one does is it just sort of -- it
17 can potentially skew the story that you're
18 telling to your constituents in terms of what
19 your resource mix really looks like.

20 So, yeah, we'd happy to do that.

21 MS. LEE: That would be great.

22 MR. TOMASHEFSKY: Yeah.

23 MS. LEE: It would be great to know what
24 you recommend, you know, in that trying to be
25 consistent with the information for your

1 consumers.

2 MR. TOMASHEFSKY: Sure.

3 MS. LEE: Thank you.

4 MR. TOMASHEFSKY: Happy to do that.

5 Thank you.

6 MR. BIERING: Good afternoon. I'm Brian
7 Biering on behalf of the American Wind Energy
8 Association of California.

9 I wanted to follow up on the question
10 that SMUD posed in relation to the grandfathered
11 dated. I heard you say that there was guidance
12 that came out ahead of the January 1st, 2019
13 date, indicating that this might happen. And I
14 was wondering what guidance you were referring
15 to? Was that the draft staff proposal or was
16 there something else?

17 MS. DECARLO: Yeah. It's the draft staff
18 proposal.

19 MR. BIERING: Thanks.

20 MR. SCAVO: Are there other questions
21 pertaining to section 1393?

22 MR. UHLER: Steve Uhler. Related to
23 deductions, what about contracts for net
24 metering? No retail sale happens there. Your
25 formulas don't -- they don't recognize that

1 production, that procurement. They don't, also
2 don't talk about where you deduct what you
3 wholesale. All of those should be in the formula
4 so that members of the public, when they get the
5 label, they can look at your regulations and
6 figure out what it means, any -- every bit of the
7 procurement, so we can watch over this situation.

8 The PCC-2 stuff, the firmed and shaped
9 stuff, yeah, we should still -- there should be
10 no grandfathering. We should know what's in it.
11 RPS puts less value on that because it's less
12 valuable. You have to burn a natural -- you have
13 to burn a fossil fuel in order to have a retail
14 sale on that.

15 So, yeah, there should be no
16 grandfathering. We should know exactly what
17 carbon is in. If you go to EIA, it will tell me
18 that SMUD has about 10 gigawatts of solar. It has
19 no wind, no wind delivered to bank. And if I
20 look at that and I sum that out and say that's my
21 power content, that's not even going to come
22 close to this.

23 So you need to stop moving these things
24 out of view of the public. This is for the
25 public to see. This is the public's label. This

1 is make it show all the costs involved in this so
2 that we can make decisions about when or wind or
3 what to tell our local utility to do.

4 Thanks.

5 MR. SCAVO: Thank you for the comments.

6 To answer the two questions, I think I
7 heard in there, net-metered generation can't be
8 reported. It isn't associated with retail sales.
9 And wholesale sales are deducted before this
10 reduction order takes place. The reduction order
11 is applied to net purchases, which means gross
12 purchases minus wholesale sales.

13 MR. UHLER: Steve Uhler again. I'm just,
14 I'm trying to understand this net purchase. At
15 what point do you decide it's a net purchase?
16 Because if somebody's using a kilowatt, they
17 turn -- flip a switch on, there is a power plant
18 that might have gone up 108 percent to handle
19 that little -- you know, for that kilowatt.
20 Where is this net purchase thing? I don't -- I
21 don't see.

22 You bought all this stuff in order to
23 deliver that one kilowatt. That has all of the
24 value -- that has all the costs in it. It has to
25 be captured, otherwise you're hiding. You're

1 hiding these factors. You're hiding that there's
2 fossil fuel going into this. Because most
3 likely, when you flip a switch, particularly in
4 the middle of the night, there's no solar.
5 People really need to know that, hey, you're not
6 all solar.

7 We have a stadium here who says, yeah,
8 they're powered by solar, but they play the games
9 at night. That's not correct. So these power
10 content label need to show, yeah, there's fossil
11 fuel involved in you running your event there.
12 We need to see that. The public needs to see
13 that. We need to know we need to make the change
14 because, obviously, this is stacked around a
15 regulation to be light on the producers. Now we
16 need to know what's truly there. It's got to be
17 accurate. You need to move entirely away from
18 that notion.

19 You purchased it. You purchased 1.2
20 kilowatts to deliver me one kilowatt, you need to
21 tell me everything that goes into that.

22 Thanks.

23 MR. SCAVO: Thank you.

24 MR. TUTT: Tim Tutt from SMUD again.

25 Another clarifying question about the PCC-2

1 resources.

2 As I understand that transaction, the
3 renewable power, wind or solar or out-of-state,
4 that was procured by a California consumer or
5 their utility is laid off in the jurisdiction
6 where it's generated and that substitute power is
7 sort of brought in lower transmission lines. And
8 that has a GHG attribute for that consumer or
9 that utility.

10 Are you going to ensure that the power
11 that's laid off out of state has a zero GHG
12 attribute associated with it or is that attribute
13 just going to be lost to the procurement
14 transaction?

15 MR. SCAVO: This program only governs
16 California emissions.

17 MR. TUTT: Does that mean that that
18 attribute might be lost to the procurement
19 transaction, that California is procuring that
20 renewable?

21 MR. SCAVO: I can't answer that, Tim. If
22 that's a comment you'd like to make, please do
23 so.

24 MR. TUTT: Thank you.

25 MR. SCAVO: Are there any other technical

1 questions about section 1393?

2 Section 1394 is largely unchanged, save
3 for a few clarifications to support program
4 administration. This section outlines data
5 reporting requirements for retail suppliers, as
6 well as optional reporting provisions for asset-
7 controlling suppliers that would like to have
8 their system power broken out by fuel type,
9 instead of characterized as unspecified power.

10 Retail suppliers will continue to report
11 the wholesale purchases and resales of generation
12 procured in the previous calendar year to support
13 each electricity portfolio, along with certain
14 identifying metadata pertaining to each
15 generator. Retail suppliers will also report the
16 quantity of unbundled RECs retired during the
17 previous year in support of each electricity
18 portfolio.

19 At their discretion, asset-controlling
20 suppliers may report to the CEC the fuel mix
21 corresponding to the most recent data reported to
22 CARB under the mandatory reporting regulation.

23 We have made a few substantive updates to
24 this section to better facilitate our data
25 verification activities.

1 First, to account for specified purchases
2 in excess of retail sales, we've added a
3 requirement for retail suppliers to provide the
4 quantities and end uses of electricity that does
5 not serve retail sales, such as line losses or
6 municipal street lighting.

7 And second, to assist in verification
8 activities pertaining to unbundled RECs, we've
9 added a stipulation that, upon request, retail
10 suppliers will authorize WREGIS to confirm the
11 quantities of unbundled REC retirements reported
12 by the retail supplier.

13 And I'll stop here and ask if there are
14 questions about section 1394?

15 MR. FREEDMAN: Thanks. Matt Friedman on
16 behalf of the Utility Reform Network.

17 The first slide in this section, you
18 mentioned that asset-controlling suppliers may
19 report their portfolios at their discretion. I
20 wasn't totally clear under what circumstances an
21 asset-controlling supplier has discretion as to
22 how it reports. Could you say a little bit more
23 about that?

24 MR. SCAVO: So they're not required to
25 report under our program. On a voluntary basis,

1 they can elect to report to us in a manner that's
2 consistent with the reporting they do for CARB so
3 that their fuel mix can be reported as broken
4 down by particular fuel categories. They don't
5 have to do it. If they would like to, they can
6 choose to.

7 MR. FREEDMAN: And if an asset-
8 controlling supplier doesn't report, what would
9 be the resource attribution for a purchase from
10 that supplier?

11 MR. SCAVO: It would be assigned the fuel
12 type of unspecified power.

13 MR. FREEDMAN: Okay. Thank you.

14 MR. UHLER: This is one of the ones that
15 has citing error. It cites 1393(a)(7) under --
16 Steve Uhler again -- under 1394(b)(1)(B)(4), a
17 citing error. So that generates for me, it's
18 like did you completely leave out a calculation
19 or is it actually just simply a citing error?

20 Thanks.

21 MR. SCAVO: It's just a citation error.
22 I appreciate you bringing it up.

23 MR. HENDRY: Thank you. James Hendry,
24 San Francisco PUC.

25 I had a question on the other uses of

1 energy that does not serve retail sales. And I
2 guess the main thing we've talked about is
3 losses. And is there any guidance on how that's
4 to be calculated or is that at the discretion of
5 the utility trying to figure out what their line
6 losses are and things like that, or is it
7 transmission level, distribution level? It was a
8 little unclear on the specificity of what was
9 being asked.

10 MR. SCAVO: We haven't provided that
11 level of detail. If that's something you have a
12 suggestion for, we'd appreciate getting it.

13 I think in general the point of this was
14 so that we can explain the different dispositions
15 of electricity that are beyond retail sales. We
16 expect that most retail suppliers will report
17 excess procurements of specified purchases --
18 actually, I don't know if most, but some will.
19 And this is to help us make sense of what those
20 other -- that excess electricity is going to
21 serve.

22 MR. HENDRY: Okay. Great. Thank you.

23 And then one minor comment on -- there's
24 a statement that you will assign EIA numbers to
25 resources that don't have one. And I'm just

1 thinking that that may be very burdensome detail,
2 especially in like in the case of San Francisco,
3 we have a number of small, very small, solar
4 facilities. And I think SMUD and other POU's do
5 as well. And so the process for assigning them
6 all an EIA number may be difficult. And to the
7 extent that they're already in WREGIS and you
8 have the WREGIS ID numbers and the RPS ID
9 numbers, maybe you just want to limit that to
10 non-RPS resources that don't have any EIA number
11 and that might significantly cut down on your
12 reporting requirement, and also reporting efforts
13 of the load-serving entities.

14 Thank you.

15 MR. SCAVO: To be clear, those aren't --
16 we won't be assigning EIA numbers. We'll be
17 assigning proxy numbers.

18 MR. HENDRY: Proxy numbers. And so --

19 MR. SCAVO: But I appreciate your
20 comment.

21 MR. HENDRY: Okay. So you'll be
22 assigning proxy numbers to -- every resource in
23 the western grid, potentially, would have a proxy
24 number assigned for it then?

25 MR. SCAVO: Correct.

1 MR. HENDRY: Okay.

2 MR. SIAO: David Siao with Roseville
3 electric. Just a quick clarifying question on
4 the second bullet point there.

5 To the best of my knowledge the Power
6 Source Disclosure Report is due on June 1st.
7 After that, on July 1st, the annual RPS
8 Compliance Report is due. With that report,
9 typically we submit the WREGIS reports for both
10 Bucket 1, 2, and 3 RECs. So I'm a little unclear
11 as to what the purpose of this piece of
12 regulation is. To the best of my knowledge, you,
13 and by you, I mean the Energy Commission, would
14 have this information out, at the latest, a month
15 later. So if you could clarify that, that would
16 be helpful.

17 Thank you.

18 MR. SCAVO: So first, this is only upon
19 request. As I -- I believe we don't have that
20 information for retail suppliers that aren't
21 POUs. So there are entities that their RPS
22 Program is administered by the Public Utilities
23 Commission and I don't believe we have that
24 information currently.

25 But please follow up in writing if, you

1 know, if you feel this isn't something that needs
2 to be included for this regulation for us to
3 perform our verification activities.

4 MR. UHLER: Steve Uhler.

5 Can you clarify the assigning of proxy
6 identification? Are you going to assign for
7 every rotating shaft, inverter or whatever, a
8 number?

9 One of the things that I notice about
10 this is you've got WREGIS numbers, you've got RPS
11 IDs, you've got EIA numbers. EIA doesn't have
12 the resolution to cover everything that needs to
13 be covered. I think it's about time the Energy
14 Commission sit down and each meter gets assigned
15 a number under your jurisdiction.

16 My experience, and it comes from folks
17 who worked in the space program, who put us on
18 the moon, they assigned a number to a Sears &
19 Roebuck part or a Lockheed part, their own
20 number. It's the only way that you can assure
21 that you know what you're handling.

22 It also -- when you get over to your
23 form, and I guess, hopefully, you're going to
24 talk about that later, but it's not very
25 efficient, but if you assign your own numbers,

1 you can use an entirely different system. Which
2 would then point to there's no need for any of
3 these people to do anything, other than you hand
4 them a report and say here's your stuff.

5 So please think about a numbering system,
6 universal, under your jurisdiction and not just
7 add and have people figure out EIA numbers and
8 everything else.

9 Thanks.

10 MR. SCAVO: Thank you.

11 Are there other questions about section
12 1394? Okay.

13 Section 1394.1 details the content,
14 format and timing of consumer disclosure through
15 the power content label, which will display the
16 fuel mix, GHG emissions intensity, and quantity
17 of unbundled RECs associated with each
18 electricity portfolio on a single label,
19 alongside statewide figures. This section is
20 largely unchanged from the February 2019 version
21 of the draft regulations but does feature an
22 update that clarifies a retail suppliers ability
23 to provide additional footnote information on the
24 power content label.

25 AB 1110 allows a retail supplier to

1 include additional footnote information --
2 include -- sorry. It allows the retail supplier
3 to include additional information about the
4 sources of its unbundled RECs. To ensure the
5 additional information is consistent with the
6 statutory provisions, retail supplier will submit
7 the additional content to the CEC for review
8 prior to its inclusion as a footnote on the power
9 content label. The annual deadline to submit
10 that added footnote language is June 1st
11 annually.

12 Are there any questions about section
13 1394.1?

14 MR. TUTT: Tim Tutt from SMUD again.

15 I think the first question, and it's not
16 clear to me at present, is when, assuming these
17 regulations are adopted, when does this new
18 annual reporting and power content label take
19 effect? For what year's generation are we
20 expected to follow these rules?

21 MR. SCAVO: If this regulation is adopted
22 and put into effect prior to June 1st of 2020,
23 then these new rules will govern reporting for
24 2020 based on 2019 procurement data.

25 MR. TUTT: Okay. So when AB 1110 was

1 passed it set up a structure where the CEC was to
2 adopt regulations to implement it by January of
3 2018. And that -- then generation starting in
4 2019, a full year later, were to be subject to
5 those new regulations, giving parties as much as
6 a year or about a year to prepare for reporting
7 and procurement under the new regulations. As it
8 stands now, these regulations are considerably
9 late. And we've already gone through nearly a
10 full year of procurement in 2019 under the
11 current regulations.

12 And it is, in a word, unfair to go back
13 and then tell us, we've adopted new regulations
14 that apply retroactively to your procurement and
15 you have to follow the new regulations for that
16 year's generation. In fact, we will, likely, not
17 be in compliance because of the procurement we've
18 already made for 2019.

19 So I respectfully request that you follow
20 the timeline in the law, or something like that,
21 and say that these regulations are not effective
22 until 2020 procurement at the earliest.

23 Otherwise, you're going to cause some
24 noncompliance issues that I don't think you
25 intend to cause.

1 Secondly, I had a question about the
2 extra footnote for unbundled RECs in the power
3 content label. I appreciate the addition of
4 expressed terms to address that. It is a
5 provision in the law that's allowed. Just sort
6 of curious if you have, at this point in time,
7 any idea what that process will look like? I
8 mean, the CEC review process for that
9 information?

10 MR. SCAVO: I think we left this a bit
11 open. It's, I think, meant to be kind of ad hoc.
12 What will happen is that a retail supplier will
13 submit to us language. We'll just take a look to
14 make sure it conforms to the other provisions
15 within the regulation. I think probably most
16 importantly, the requirement that -- marketing
17 claims about GHG emissions need to be consistent
18 with the AB 1110 methodology. And that that the
19 additional information disclosed on this
20 additional footnote should be restricted to the
21 sources of (indiscernible) RECs.

22 So we'll take a look. If it, you know,
23 meets those requirements, then we'll issue a
24 power content label that includes the additional
25 footnote language for the retail supplier to use

1 to construct its power content label.

2 MR. TUTT: Okay. The third question I
3 have relates to customer products as, I think you
4 guys are aware, reflected in the expressed terms.
5 product where, usually, for a large commercial or
6 industrial customer, we have -- a utility has
7 said, you tell us what kind of power you want and
8 we'll structure a product to give you exactly
9 that kind of power. In that situation, I would
10 submit, it doesn't make sense to then have a
11 requirement for the utility to tell that
12 customer, well, we've negotiated that exact
13 product, here's the product that we've sold you;
14 that happens anyway.

15 So I would prefer that you consider the
16 fact that a power content label for those custom
17 contracts is not necessary. It's superficial.

18 Thank you.

19 MR. SCAVO: I can appreciate that it may
20 not be necessary but it is required under the
21 governing statutes that each customer get a
22 label. If you've got a suggestion for a way that
23 allows for your suggestion that still conforms to
24 the law, we'd be happy to receive that.

25 MS. WEAVER: Hi. Good afternoon.

1 Samantha Weaver with East Bay Community Energy.
2 I had a quick question, a clarifying question
3 about an earlier section, 1394.1(g). It's
4 actually not in there yet. This pertains to new
5 CCAs. It allows additional time for new CCAs to
6 provide GHG emissions information.

7 My question for you is: Do you expect to
8 issue a template for new CCAs to use in that
9 situation, since it wouldn't show the GHG
10 component yet?

11 MR. SCAVO: We hadn't expected to.
12 That's a useful suggestion and something we can
13 take under consideration.

14 MS. WEAVER: Got it. Thanks.

15 MR. TOMASHEFSKY: Hi. Scott Tomashefsky
16 again. A couple things. One is more of a
17 practical thing.

18 Going to 1394.1(b)(2), when we talk about
19 providing the label by U.S. Mail, I guess this
20 goes under the with-all-due-respect category,
21 we're in 2019 right now and we're now at that
22 point where most forms of communication is not
23 done that way. In fact, many customers actually
24 don't even get their bill by U.S. Mail, so that
25 creates some issues.

1 I think some discretion in terms of how
2 that's interpreted would probably be helpful, so
3 let me just leave it at that.

4 One way we've dealt with it in the past
5 is basically just having a reference on your bill
6 that basically says where it is located on your
7 website. So at least there's some reference that
8 comes out in some form of paper communication.
9 But the notion of paper communication in 2019 is
10 really getting far beyond where we should be, so
11 that's just one general comment.

12 The other one is later on in that same
13 paragraph, this notion of what happens with
14 August 30th, and there's probably a couple of
15 things we need to consider here. And I
16 understand the August 30th date in there is
17 intended to address the confusion of the end of
18 the first billing cycle the third quarter of the
19 year. But in practice, what's been happening for
20 years has been October 1st. And so there's the
21 natural progression of how we deal with the
22 various reporting requirements during the year.
23 October 1st fits very well.

24 Now when you start to look at where
25 things are in terms of the information that we

1 get, you get the information on June 1st. Staff
2 puts together the California mix. That's
3 generally done in the middle of July. So on
4 first glance you'd think, okay, well, that's all
5 available at the middle of July, we're done. We
6 should be able to turn that around and be done
7 with it by August 30th.

8 One complicating factor on that is public
9 process within local communities. And while some
10 communities can turn around things fairly quickly
11 within their council discussions and process,
12 some take a month, some take two months. That's
13 the reality of what we deal with in terms of
14 local governance.

15 So it's not a matter of saying we're just
16 not interested in doing it. It's just a matter
17 of dealing with the transparency of public
18 process. And whether it is putting that out in
19 front of a council discussion, whether there's a
20 staff report that comes out of that, whether
21 there's internal information that's exchanged by
22 the staffs as their putting that material
23 together, it just simply takes time sometimes.
24 Sometimes it may not make sense why that takes
25 much time but it does. And that's the reality of

1 just submitting information that goes through the
2 public process.

3 One other thing to think about in the
4 context of this is that over the last couple of
5 years the reporting aspect of greenhouse gas
6 emission reporting, the verification process used
7 to be due on September 1st. And for reasons at
8 the Air Resources Board, because of the timing of
9 how they deal with their internal regulatory
10 reporting, because they want to get all the
11 information out to the public by November 1st,
12 that date was moved up by three weeks. That
13 three weeks is really important. So that moves
14 it up to August 10th. So what that does is it
15 provides the Commission with an opportunity for
16 the power content label to actually reflect 2018
17 emissions data.

18 And as much as we have said, and I think
19 the regulations talk about that, the most
20 recently -- the most recent batch of data that's
21 available on emissions, if it's a matter of
22 dealing with just a few additional weeks, why
23 wouldn't you take current year emissions and
24 build that into the power content label? You're
25 doing that with the present power content label

1 on the procurement side by including the current
2 year California mix, and we've got that fairly
3 squared away, whereas before it was a little bit
4 iffy on whether it was the previous year or the
5 current year. We have the opportunity to do that
6 on the emissions side as well.

7 So in some weird way, I would rather have
8 the nebulous language that's actually included in
9 that, so we can actually continue to use that and
10 apply an October 1st date. Even though I know
11 some have asked to have clarification, August
12 20th actually works to your detriment in terms
13 getting the most recently-available information
14 out on emissions.

15 MR. SCAVO: So the emissions data is
16 actually based on the filings that are submitted
17 June 1st. I don't think the August 30th date
18 impacts that. But let me actually start by going
19 through your questions one at a time.

20 You mentioned that mail, physical mail,
21 is perhaps an outmoded form of communication.
22 That section does allow for email in lieu of
23 physical mail.

24 You also mentioned that a simple, I don't
25 know, message or something saying that the

1 website displays the power content label and
2 that's where it can be found should be how we
3 move forward. This was considered under the AB
4 162 rulemaking. And we determined at that point
5 that actual outreach by the retail suppliers best
6 meets the intent in the statutory elements of the
7 statutes.

8 And the other question about changing the
9 date or leaving the language more nebulous, we've
10 had a lot of comments from -- of inquiries from
11 reporting entities that have asked us to identify
12 an actual date that occurs within this first full
13 billing cycle, the third quarter. If you have a
14 suggestion for how to interpret that language in
15 a way in which October 1st occurs within it, I'm
16 very open to hearing it. But we're kind of
17 constrained here, just based on the statutory
18 requirements.

19 MR. TOMASHEFSKY: I, well, yeah, I
20 understand. I understand what's in the language.
21 This has been a little bit of a frustrating
22 because I know what's in that language and the
23 reality of what actually will ensure success in
24 terms of what you're trying to accomplish. And
25 this is one example where sometimes the evolution

1 of the process has now led to a point where you
2 will have a number of utilities that cannot meet
3 that deadline, which is not the intent of the
4 Commission by any means, and certainly not the
5 intent of any local community or utility that's
6 not representing a local community, not intending
7 to keep this information from disclosing it.

8 The objective here really is to make sure
9 that the information is as accurate and as
10 current as possible. And the ability to stay on
11 the framework allows us to do those types of
12 things.

13 And you're right, in terms of the
14 emissions data that's in the Power Source
15 Disclosure Report, I will definitely concede that
16 point, that the information that's included and
17 was filed in June 1st is based on -- it's based
18 on stuff that, perhaps, is not verified but at
19 the same time, it's also based on 2018 emissions.

20 So the difference is you don't have
21 something that has been verified by some entity,
22 a third-party verifier that says those emissions
23 are actually true and tested. That's something
24 that, when we provided to you on June 1st, is
25 basically this is based on what we think is

1 correct but it hasn't yet been verified.

2 So you're right to some extent on that
3 but the data is still generally the same.

4 MR. SCAVO: Perhaps I misunderstand your
5 point, but retail suppliers don't actually
6 calculate their own emissions in their reporting
7 to us. It's based on generation and based on the
8 emissions factors that we assign, which are in
9 turn based on published emissions data that's
10 been vetted by CARB and --

11 MR. TOMASHEFSKY: In some cases, we're
12 fully, fully integrated, so they are sometimes
13 actually tied to the utility that is actually
14 providing that information, not in the case of
15 the -- in the case of one public utility that has
16 its own generation, that does have a connection.
17 Even though it may be a little bit different in
18 terms of what's reported to which agency, the
19 information is still coming from the same general
20 source.

21 But we can talk about that further. I
22 mean, I don't want to hold this up at all.

23 MR. SCAVO: Thank you.

24 MR. TOMASHEFSKY: Sure.

25 MR. TUTT: Tim Tutt from SMUD again. I

1 just wanted to echo Scott's concern. It's not
2 just the emissions data and when that is
3 available that has an impact on this. It's the
4 fact that before we send out a Product Content
5 Label to consumer, we need a template. That
6 template comes from the Energy Commission. That
7 has to be at a -- come at a time where we can
8 fill it out and then we have to have it audited
9 by a third-party auditor before we're willing to
10 send it out to our customers.

11 And I can tell you that process has been
12 constrained in the past so that my folks tell me
13 that August 30th is not a date that's likely to
14 be met for getting it out to mail customers in
15 particular.

16 Thank you.

17 MR. SCAVO: Thank you.

18 MR. SIAO: David Siao again with
19 Roseville Electric.

20 I just want to echo the comments made by
21 Tim and Scott. As you know this Power Source
22 Disclosure report is due on June 1st. The
23 deadline to mail everything out to our customers
24 is August 30th. Our process, at least for
25 Roseville, is it takes about a month to get this

1 before our city council and have them attest to
2 it and approve it, then it takes about a month
3 for our printers to get the Power Content Label
4 and put it together and then send it out.

5 So that doesn't give us a lot of time.

6 At the very latest, we would want to get the
7 template for the Power Content Label by mid-July
8 if not the beginning of July in order to make
9 sure we have enough time to meet our deadlines.
10 And I'm sure there are other utilities with more
11 complex products and processes that would need at
12 least the beginning of July to get the template.

13 MR. SCAVO: I appreciate the comment.

14 Thank you.

15 MR. UHLER: Steve Uhler. Related to
16 receiving a Power Content Label, the statute says
17 that customer has to consent to receiving it by
18 email. It also has to be available for any
19 marketing materials, printing marketing materials
20 and such. So it's going to probably have to be
21 printed at some point for this.

22 Now the -- the other thing is as far as
23 being able to do this and meet these schedules, I
24 know SMUD has SAP planning system. SAP uses ad
25 hoc reporter. And somebody who knows how to use

1 an ad hoc reporter for SAP which is kind of based
2 on something known as Crystal Reports or
3 ReportSmith all the way back to the '80s, all you
4 need is what it looks like. You don't need
5 anything other than that, and then somebody
6 writes the query language that goes behind it and
7 you press a button. And that button could be
8 pressed at any time of the year. They already
9 are if they're trying to track and keep control
10 of their greenhouse gases, they should be doing
11 it every day.

12 So any -- any situation where somebody
13 like SMUD is like, well, we're not going to be
14 able to meet this, they have the tools, they may
15 not have the individuals who know how to use
16 them, but this is easily done. I've spent 25
17 years doing that for companies. Company in
18 Roseville called NEC, gave them information at
19 five-minute levels. That would be larger than
20 what SMUD would need to do to -- to get --
21 produce a Power Content Label. So don't let them
22 tell you that they can't meet that.

23 Some of this stuff needs to put pressure
24 on these people to utilize the tools they have.
25 As a customer owner, it's like why aren't you

1 using that? Why aren't you delivering us this
2 information so we can make decisions of why and
3 when and actually how much greenhouse gas.
4 Firmed or shaped or not, we want to know what
5 greenhouse gases are right now.

6 And that's -- this says annual
7 As to the footnote. Is there any problem with
8 somebody offering hourly information in there?
9 Because we really need to know what time, hour of
10 the day is terrible to use electricity. That
11 would probably have a much larger impact on this.
12 So is there a problem with a footnote being
13 produced that actually gave you curves for hourly
14 curves? Is there any limitation to that in
15 statute or anything? It says I don't have to do
16 hourly but if somebody wanted to do that to set
17 themselves apart from everybody else, is there
18 anything wrong with that?

19 MR. SCAVO: I don't think I can answer
20 that question right now. I can say that we can't
21 require -- our interpretation of the statute is
22 that we can't require hourly reporting. If an
23 entity wanted to disclose hourly emissions, as
24 long as the methodology was consistent with that
25 established under this proceeding, yeah, maybe.

1 That's not a question I think I can
2 really answer right now. But I appreciate the
3 comment, that's something we can --

4 MR. UHLER: Well, then importantly, APA
5 wants to see performance over prescription. Can
6 you do away with that spreadsheet? It's just --
7 I sit there and look, it's like I'd lose all
8 kinds of money running a business having to fill
9 out this spreadsheet. Can you just give a format
10 and say here's what the label looks like and
11 then, you know, maybe somebody will get the book
12 out at SMUD and go SAP ad hoc reporter, oh,
13 here's how to do this.

14 Because a lot of this could have been
15 done a long time ago. Like Tim Tutt says, you're
16 very late on this. Nobody's responded. I
17 docketed an example of something that would meet
18 what I think you intend to do where you enter
19 something and it does a VLOOKUP and it populates
20 it. But that system -- spreadsheets were never
21 designed to do what needs to be done to do this.
22 And you're supposed to minimize. That means the
23 lowest level, that doesn't mean just simply
24 reduce, you're supposed to minimize the reporting
25 requirements.

1 You need to move away from that
2 spreadsheet. That spreadsheet itself even has
3 odd errors in it and you can remove the facility
4 name and it doesn't empty the records. There's
5 all kinds of places for error. If somebody's
6 worried about auditing before they get it, one
7 good thing about having software is you can audit
8 the software and you press a button and you get
9 the answer and it's all added up right. Won't be
10 any errors. SMUD has made errors in heat -- heat
11 rate on their stuff because somebody did it in a
12 spreadsheet and didn't realize that they averaged
13 partial cells and stuff like that.

14 So you need to move away from that. Just
15 provide a format and let these other folks
16 utilize something else. If you're running into a
17 problem where you can't process this information,
18 like I said, I have already submitted with an
19 actual application that you can enter this stuff.
20 Nobody's gotten back to me. It may be that I
21 have to wait until the day before the last day
22 for you to get back and say, oh, we can't do
23 that.

24 We need to do this stuff now. This stuff
25 needs to be done now. We have got 16-year-old

1 girls coming from Sweden to tell us we need to
2 get moving. And I'm saying you guys are not
3 using the right tools and I would like to get
4 together with somebody here and demonstrate this
5 process. I think you'll find that a lot of
6 things that are being done here will be reduced
7 and we'll get these answers. Because this is
8 regulating what I get to see and it needs to be
9 done faster. And it can be done faster.

10 We should be able to know every week what
11 our power content was. The statute may not say
12 that because they don't think it could be done.

13 Last night on 60 Minutes the woman who
14 run --

15 MS. LEE: Mr. Uhler, I'm sorry --

16 MR. UHLER: This is an important point.
17 You guys are not doing what needs to be done.
18 You need to understand that you're not using the
19 right tools. You need to stop using those
20 spreadsheets. They're a source of errors, that's
21 why you have to have auditing. So.

22 MS. LEE: Thank you for your comment.

23 MR. UHLER: Okay. Thanks.

24 MR. SCAVO: Does anyone else have
25 comments on Section 1394.1?

1 Section 1394.2 does not differ
2 substantively from the February 2019 version of
3 the draft regulations. This section lays out
4 auditing requirements for retail suppliers. An
5 audit must be submitted for each electricity
6 portfolio to verify the accuracy and completeness
7 of power source filings.

8 As an alternative, however, retail
9 suppliers that are public agencies can submit an
10 attestation from their respective governing
11 boards attesting to the veracity of the retail
12 supplier's power source filings for each
13 electricity portfolio.

14 Does anyone have technical questions
15 about Section 1394.2?

16 We're going to pause here for a moment
17 and allow some questions from our guests on
18 WebEx.

19 MR. KASTIGAR: Hi, my name is Ryan
20 Kastigar, I'm with the CEC.

21 First I'm going to be unmuting Philip
22 Schofield. He had a question about one of the
23 previous sections.

24 Philip, you're now unmuted, so feel free
25 to ask away.

1 MR. SCHOFIELD: What verification
2 requirements -- oh, boy. Sorry.

3 Interested in verification requirements
4 for zero emission sales. Do you guys just want
5 to see power purchase agreement, do you want more
6 than that? We have a concern about double
7 counting, we have WREGIS for rep transfers but we
8 don't have anything similar for hydro and nuclear
9 transactions between parties.

10 MR. SCAVO: I think we talked about this
11 a bit earlier. To substantiate specified
12 purchases, you'll need to have power purchase
13 agreements in place or an ownership contract or
14 some kind of documentation that demonstrates
15 you've got a specified claim for the generation
16 that was executed prior to the point of
17 generation.

18 In addition for imports, you'll also need
19 to retain e-TAG information. During Energy
20 Commission's verification activities, we can
21 request to see the substantiated documentation,
22 it doesn't need to be automatically furnished in
23 every case.

24 MR. SCHOFIELD: Okay. Fair enough.

25 MR. KASTIGAR: Thank you, Philip.

1 Our next question is from Susie Berlin.

2 Susie, I'm going to unmute you now.

3 MS. BERLIN: [Connection breaks up during
4 question] Regarding that -- the footnote -- know
5 you -- would be an ad hoc cost, do you have a
6 timeline for the review and potential revisions -
7 - to the extent there would be an agreement about
8 whether the -- with the legislation?

9 MR. KASTIGAR: Sorry, Susie, could you
10 please repeat your question?

11 MS. BERLIN: It sounds like the audio is
12 kind of bad, can you read it?

13 MR. KASTIGAR: Okay, I'm going to go
14 ahead and -- I'm just going to read that question
15 out loud.

16 MS. BERLIN: Thank you.

17 MR. KASTIGAR: The question says: Who
18 will be reviewing the footnote and what process
19 will be used in the event that there is a
20 disagreement about whether the proposed language
21 is consistent with the statutory provisions?

22 MS. LEE: So I'll take care of that,
23 Jordan is trying to work with his microphone.

24 This is Natalie Lee. Hi, Susie. Thank
25 you.

1 That kind of process detail, staff will
2 develop not within the regulation but will
3 provide guidance. I would say based on, you
4 know, our current review processes, if it's
5 something that you're looking to do, the June 1st
6 is a deadline but it's certainly not -- you could
7 start working with staff early on as to what your
8 intent is. But we recognize the deadline for
9 having your final labels approved and issued so
10 we'll operate to ensure that we don't limit your
11 ability to meet those deadlines.

12 MS. BERLIN: Thank you.

13 MR. KASTIGAR: That concludes all of the
14 online questions for now.

15 If you have any more questions, please
16 use the raise hand feature and we will unmute you
17 at the end so you have an opportunity to ask your
18 questions.

19 MR. SCAVO: Okay. I'd now like to touch
20 on our upcoming milestones in this process.

21 Public comments on the draft regulations
22 and supporting documents are due by October 21st,
23 2019. If we don't make further modifications to
24 these proposed regulations, we will submit the
25 regulations for adoption at a business meeting on

1 November 13th, 2019. If we do make additional
2 changes based on the comments received, we'll aim
3 to adopt in the first quarter of 2020.

4 We expect to file the regulations with
5 the Secretary of State and receive an effective
6 date in the spring of 2020 in advance of 2020
7 reporting which begins June 1st.

8 I'd like to reiterate that the rulemaking
9 documents can be obtained online on our website.
10 It's also in the docket log. You can also
11 contact staff for help if you have questions.
12 The docket is provided in the link on this slide.

13 Now we'll open the floor for general
14 public comments. For those stakeholders joining
15 us in person, please use the microphone on the
16 lectern over there. If you need assistance or
17 would like a portable microphone brought to you,
18 please raise a hand.

19 For those on WebEx, please use the raise
20 hand feature and we'll unmute you during your
21 turn. And for those calling in, we'll unmute the
22 lines but please keep your end muted unless you
23 are speaking.

24 I know that -- I don't think we were
25 planning on using blue cards but I know that a

1 handful of parties have filled those out and I'm
2 not sure whether those comments have been covered
3 through the Q&A portion. But folks who have
4 filled out a blue card, please just feel free to
5 take the lectern and microphone.

6 MS. LEE: Actually, Jordan, I think I'm
7 going to call through the blue cards and ask
8 folks to come up. And then if you want to speak
9 but did not fill out a blue card, we'll open up
10 and allow you to come on up.

11 So David, from Roseville Electric, do you
12 have additional comments you'd like to make?
13 Thank you.

14 MR. SIAO: So I just wanted to mix it up
15 a bit and thank the Commission for -- for some
16 changes that were made, specifically for allowing
17 our governing board to attest to the veracity of
18 not just the first Power Content Label but all of
19 them. That really helps us meet the deadline
20 given the time constraints that we have and it
21 does save our ratepayers some money too. So
22 thank you.

23 MS. LEE: Thank you.

24 Cynthia Clark with the University of
25 California.

1 MS. CLARK: Hello, my name is Cynthia
2 Clark. Is this working? Okay. Renewable energy
3 manager at the University of California, office
4 of the president.

5 The University of California is both a
6 world class research and education institution
7 with aggressive environmental goals and a
8 registered electric service provider.

9 We're active in both compliance and
10 voluntary renewable energy markets. U.C. aims
11 not only to achieve system-wide net carbon
12 neutrality by 2025 but also to inspire and inform
13 widespread carbon reduction efforts by
14 demonstrating replicable and scalable solutions.

15 The CEC's proposed modifications to
16 regulations governing the Power Source Disclosure
17 program are concerning to U.C. because they limit
18 renewable and carbon-free procurement options
19 available to us as a registered Load Serving
20 Entity and because they are likely to cause
21 confusion, not clarity, among both internal and
22 external stakeholders regarding U.C.'s progress
23 towards carbon neutrality.

24 The proposed modifications also threaten
25 to undermine renewable energy investments and

1 markets more broadly by devaluing the instruments
2 that renewable energy transactions are based on.
3 Renewable energy credits, whether bundled with
4 the underlying power or not, convey all
5 environmental and, if applicable, greenhouse gas
6 emission attributes of renewable electricity from
7 buyer to seller.

8 RECs are used to demonstrate compliance
9 with renewable portfolio standards across the
10 country, including California, and to validate
11 voluntary renewable energy use claims in
12 accordance with international greenhouse gas
13 accounting best practices.

14 By positing that physical power delivery
15 is required to make an accurate retail claim, the
16 Commission's proposed regulations create a rift
17 between compliance and voluntary reporting
18 protocols. This rift introduces needless
19 complexity for entities like U.C. that operate in
20 both markets, and mainly to a number of negative
21 consequences presumably unintended for all market
22 participants and consumers.

23 By emphasizing direct delivery of
24 renewable electricity to a grid that's already
25 congested during peak solar hours, the new

1 regulations may increase energy curtailment in
2 California while sending a signal that could
3 undermine the regional cooperation I believe is
4 needed to meet both state and global emission
5 targets.

6 The regulations may also raise the cost
7 of electricity in California by increasing
8 competition for resources that are located in or
9 can be directly delivered to the state. This
10 includes hydroelectricity from existing
11 facilities which while it has an important role
12 to play in California's carbon-free electricity
13 future, does not have the same carbon impact as
14 replacing or displacing carbon intensive
15 resources with new renewable capacity throughout
16 the WECC.

17 The proposed regulations may
18 disincentivize non-Load Serving Entities from
19 actively participating in California's energy
20 markets. Why would a customer, for instance,
21 elect to pay premium for a voluntary green
22 product from their Load Serving Entity partner
23 with their Load Serving Entity to develop a
24 custom green power portfolio? Or become a Load
25 Serving Entity to self-supply electricity that

1 supports institutional goals at a cost effective
2 manner as U.C. has done when doing so will
3 subject them to unnecessarily restrictive
4 procurement options and greenhouse gas accounting
5 rules?

6 As these sophisticated energy consumers
7 are well-aware, they have the option to operate
8 exclusively within voluntary reporting standards
9 using virtual PPAs and REC purchases while at the
10 same time avoiding any obligation to support grid
11 capacity, liability, and integration efforts. Is
12 this really the best outcome for California?

13 I do not believe that the Power Source
14 Disclosure regulations as currently proposed will
15 meet the stated objective of providing accurate
16 and simple to understand information to consumers
17 about their sources of energy and associated
18 greenhouse gas emissions. I also happen to
19 disagree that the direct delivery requirement and
20 proposed treatment of unbundled RECs supports
21 California's environmental objectives.

22 I urge the Commission to clarify that
23 these provisions, if implemented, are aimed at
24 achieving state specific policy objectives rather
25 than trying to rewrite the greenhouse gas

1 accounting rules that have fostered robust
2 voluntary renewable energy markets.

3 Thank you for the opportunity to comment.

4 MS. LEE: Thank you.

5 Can I ask for Sarah Dudley from Cal
6 Utility Employees?

7 MS. DUDLEY: Can you hear me? Is that
8 good? Okay.

9 Hi, good afternoon, my name is Sarah
10 Dudley, I'm here on behalf of the California --
11 the coalition California Utility Employees or
12 CUE. CUE is a coalition of unions that represent
13 approximately 34,000 people who work for investor
14 owned and publicly owned utilities in California
15 and for contractors who perform work for
16 utilities and project developers.

17 We really appreciate everything staff has
18 done and we fully support staff's
19 recommendations. I'm also mixing it up a little.

20 Staff's recommendations will allow
21 consumers to better understand the impacts of
22 their electricity use and to effectively choose
23 the electricity portfolio that suits them.
24 Specifically, staff's recommendation for what
25 counts as a carbon-free resource is exactly

1 right. Staff is right that unbundled RECs should
2 not count as carbon free when calculating or
3 adjusting the fuel mix or GHG emissions intensity
4 of an electricity portfolio disclosing --
5 disclose on the Power Content Label.

6 CUE supports separately disclosing on the
7 Power Content Label, retired unbundled RECs.
8 Staff is also right that firmed and shaped
9 products should not count as a carbon-free
10 resource. GHG emissions should be assigned to
11 firmed and shaped products based on the emissions
12 profile of the delivered substitute electricity.
13 This is a good policy and it's consistent with
14 CARB's treatment of firmed and shaped projects.

15 We understand that there's some concern
16 about staff's proposed treatment of firmed and
17 shaped products and CUE believes that
18 grandfathering current firmed and shaped
19 contracts until the end of the contract is a good
20 compromise.

21 Thank you.

22 MS. LEE: Thank you. And, again, if you
23 have a business card that you could provide to
24 our court reporter, that would be helpful.

25 All righty. Next we have Brian Biering

1 from the American Wind Energy Association.

2 MR. BIERING: Good afternoon,
3 Commissioner, advisors, and staff.

4 My name is Brian Biering, I'm here on
5 behalf of the American Wind Energy Association of
6 California. We at California represents both
7 renewable energy suppliers and developers both in
8 California and throughout the west. Our members
9 develop both wind energy projects and other
10 technologies.

11 We really do appreciate staff's efforts
12 on this regulation. It's complex, there's a lot
13 of crossover with different regulatory programs
14 including the Air Resources Board's regulations,
15 the IRP program. And so the need for accuracy is
16 important. And I think there's also a need for
17 consistency with other programs.

18 One of the areas where there's a need for
19 consistency is with the ARB's mandatory reporting
20 regulation and the cap and trade program. The
21 cap and trade program applies what's called the
22 RPS adjustment which produces the carbon costs
23 associated with firmed and shaped imports.

24 There's an importance in understanding
25 the distinction between unbundled RECs and firmed

1 and shaped imports. They are two different
2 things. Unbundled RECs refer to procurement
3 content Category 3; whereas firmed and shaped
4 imports are actually a bundled transaction. The
5 Load Serving Entities that procure PCC-2 or
6 Bucket 2 have purchased both the RECs and the
7 energy that is provided by those resources.
8 Those contracts essentially represent an
9 investment by those ratepayers in the energy
10 that's actually produced by those facilities.

11 What the PCC-2 contract structure really
12 does is it provides the LSE with flexibility to
13 account for the intermittent nature of the
14 generation and the fact that they may need to
15 import during periods when the wind may not be
16 blowing or the sun may not be shining.

17 So it's important to keep in mind that
18 the bundled -- the fact that it is bundled should
19 be recognized on the Power Source Disclosure and
20 the Power Content Label that the ratepayers have
21 invested in that resource. So we would ask that
22 you would remove the grandfather date and apply
23 the RPS adjustment indefinitely.

24 Thank you.

25 MS. LEE: Thank you. Jessica Melton with

1 PG&E.

2 MS. MELTON: Sorry. Hi, Thank you.

3 Jessica Melton with PG&E. I appreciate the --
4 being able to comment today.

5 PG&E appreciates the hard work of CEC
6 staff to implement the requirements of AB-1110 to
7 date. That said, PG&E is concerned that there
8 are aspects of the proposed regulations that fall
9 short of the legislative requirements. As
10 drafted, these regulations would fail to provide
11 accurate, reliable, and simple to understand
12 information to customers regarding the sources of
13 their electricity supply as required by the law.
14 Instead, customers of all Load Serving Entities
15 will be told that their electric supply is
16 cleaner than it actually is.

17 First, the CEC recognized in the most
18 recent revision that it is inappropriate for the
19 bundled customers of IOUs to bear the entirety of
20 the energy content and emissions associated with
21 CAM resources procured and paid for by all
22 customers. While the CEC is on the right track
23 here, sweeping the energy and emissions
24 associated with CCA MDA customers under the rug
25 fails the statutory mandate to provide accurate

1 information and ensures that Power Content Labels
2 will underreport GHG emissions overall.

3 While other LSEs claimed it would be
4 unfair for resources, they didn't procure to
5 appear on their Power Content Label, CAM
6 procurement was not optional for the IOUs and
7 done on behalf of all LSEs. If the CEC believes
8 it is unfair that non-IOU LSEs would have to show
9 CAM resources, then it is unfair that any LSE
10 show CAM resources.

11 Second, PG&E recognizes that time
12 constraints in this proceeding made it difficult
13 to consider Clean Net Short, the more accurate
14 hourly GHG accounting method proposed by the
15 utilities. However, the CEC should commit to
16 further revisions of the methodology after this
17 rulemaking is complete. The current annual
18 netting methodology will result in Power Content
19 Labels systematically undercounting GHG
20 emissions. The proposed methodology also fails
21 to reward LSEs for pairing solar with storage
22 resources that are needed for California to
23 actually hit its GHG goals.

24 Third, the current implementation
25 methodology ignores all GHG emissions associated

1 with electricity lost in transmission and
2 distribution. This is in error and results in
3 the Power Content Label systematically
4 undercounting GHG emissions for all Load Serving
5 Entities.

6 Fourth, the draft regulations
7 inappropriately expand the eligibility window for
8 grandfathering of firmed and shaped resources.
9 PG&E narrowly benefits from the grandfathering
10 but believes it is inappropriate to provide
11 inaccurate information to customers. Many of the
12 LSEs requesting grandfathering extensions do not
13 contest that the proposed treatment of firmed and
14 shaped resources is correct. They simply want to
15 avoid incurring small costs to continue to make
16 voluntary marketing claims. Extending
17 grandfathering eligibility requires brinkmanship
18 by some LSEs and punishes others that adjusted
19 the procurement in anticipation of the CEC's
20 proposed regulations. Most importantly, it
21 results in Power Content Labels providing
22 inaccurate information to customers.

23 PG&E supports the objectives of AB-1110
24 and hopes to help the CEC successfully implement
25 its requirements. We'll provide -- we will

1 provide further written comments on how these
2 issues can be resolved.

3 Thank you.

4 MS. LEE: Thank you.

5 Todd Jones, Center for Resource
6 Solutions.

7 MR. JONES: Thank you. So my name is
8 Todd Jones, I'm with the Center for Resource
9 Solutions.

10 We would like to thank the commissioners
11 and Commission staff for leading this process,
12 interpreting AB-1110 and addressing intersections
13 between programs run by different agencies and
14 involving -- involving priorities for the state
15 are all really challenging. So thank you for
16 your -- your hard work.

17 We think there have been some very good
18 outcomes. One in particular that RECs will be
19 required for reporting both renewable fuel type
20 and the GHG emissions of a renewable generator is
21 really critical to prevent double counting.

22 We have concerns with other parts of the
23 proposal that would create inconsistencies
24 between the RPS and discrepancies between fuel
25 type and emissions. We don't think those

1 elements are accurate or simple to understand and
2 we think they could have complicating effects as
3 we move to 2030 and 2050. But today I want to --
4 I want to actually focus on the statement of
5 reasons which we think could have profound
6 impacts in itself because of California's
7 leadership role.

8 The main point I'd like to make is you
9 can limit purchasing options for Power Source
10 Disclosure. But the explanation in the statement
11 of reasons is that the purchasing options are not
12 valid, not just that they're ineligible for this
13 program. And that's incorrect and it's harmful.
14 So we ask you to revise the statement of reasons
15 so that it doesn't undermine these market
16 instruments, accounting regimes, regulatory and
17 voluntary programs that drive renewable energy
18 development and climate action.

19 So the statement of reasons provides
20 several different explanations particularly for
21 the exclusion of unbundled RECs and the treatment
22 of firmed and shaped contracts. And we go
23 through each of them in our written comments in
24 detail. But the central argument appears to be
25 that physical delivery of power from a renewable

1 resource is required for accurate retail
2 disclosure. I mean, there's just a fundamental
3 problem with that since -- since the type of
4 power any retail customer is receiving can only
5 be determined contractually, including for
6 bundled procurement. And the emissions
7 characteristics of power do not travel through --
8 through the wires. They're required
9 contractually. There are large sections of the
10 country that sell and disclose delivery of
11 specified power to retail customers using
12 certificates that are separate from wholesale
13 power transactions and purchases.

14 The current language in the ISOR says
15 that these widely adopted methods for retail
16 disclosure are inaccurate. And I don't think
17 that it's the intent of the Commission to
18 effectively discredit all of PJM, New York,
19 NEPOOL that operate in this unbundled way.
20 There's also a fundamental problem with the
21 assertion that bundled power contracts somehow
22 represent physically delivered renewable
23 electricity. This idea -- this idea that
24 physical power or even just a bundled contract is
25 required to sell and disclose renewable energy to

1 retail customers is also inconsistently applied
2 both within the proposal and across California
3 programs. And I provide examples of that as well
4 in our written comments.

5 But once you abandon this idea that
6 specified power is physically delivered to grid
7 customers, there's no distinction between energy
8 contracts and RECs for tracking and between
9 bundled and unbundled procurements for accurate
10 Power Source Disclosure.

11 So we encourage you to make the
12 explanation about other objectives for Power
13 Source Disclosure rather than accurate
14 accounting. It may be clearer to just say that
15 you're limiting Power Source Disclosure to power
16 that can be physically delivered in this program
17 to match the boundaries of the MRR, for example.
18 But retail disclosure is still contractual in
19 nature, the physical electricity still conveys no
20 information about source, and unbundled RECs both
21 within the physical delivery boundary that should
22 be able to be reported in that case and outside
23 the boundary, even though they can't still
24 represent accurate retail transactions of
25 renewable energy. So again, it's not a matter of

1 accuracy, you're just making a program decision
2 to limit the boundaries and you explain why.

3 So last, why do we -- why do we think
4 it's harmful? You're providing this argument to
5 justify the exclusion of unbundled RECs from
6 reporting, but it also undermines the credibility
7 of virtual power purchase agreements, firmed and
8 shaped renewal power and really all retail
9 renewable energy and REC programs that are not
10 bundled power contracts. And the truth is,
11 according to Lawrence Berkeley National Labs
12 analysis of RPS and the National Renewable Energy
13 Labs analysis of voluntary green power markets,
14 the majority of renewable capacity additions in
15 states with retailed choice and the vast majority
16 of non-RPS investment and renewable energy
17 capacity additions across the country which
18 represent the majority overall have been driven
19 by these unbundled procurement purchasing
20 mechanisms. They're incredibly and increasingly
21 important for renewable energy development and
22 the State really puts all of that investment and
23 development at risk with this statement of
24 reasons.

25 So, again, we thank you for your

1 consideration of our written comments which will
2 go through the proposal and the ISOR and
3 references in detail and provide additional
4 information and alternatives. But our strongest
5 recommendation is to provide a final statement of
6 reasons that provides more credible and complete
7 explanation of the State's approach to accounting
8 and it doesn't undermine the credibility of these
9 other markets and market instruments and programs
10 that drive renewable energy.

11 Thank you very much.

12 COMMISSIONER DOUGLAS: Thank you, Todd.
13 Mr. Uhler.

14 MR. UHLER: Steve Uhler. I'm going to
15 make an analogy. Imagine going through a
16 restaurant and buying a meal and the waiter comes
17 up and says give me another 10 percent and you
18 can say it's all organic even though no organic
19 food is grown in your area. At some point
20 there's going to be a transition unless we hang
21 some wires to go reach out to these places
22 because you can actually track all of this stuff
23 where it comes from.

24 The Power Content Label needs to reflect
25 what is delivered. You have a what -- a

1 statement of under definition of delivery, and it
2 says at the boundary of the balancing authority.
3 If I look at EIA, very little renewables are in
4 bank. So there should be no Power Content Label
5 that says that there are much more than about 3
6 percent renewable in any of the energy in anybody
7 in bank.

8 These things need to be known because
9 just like we're fortunate to have a river here
10 and a lot of water, well, if somebody didn't
11 build a canal, people in L.A. would not be --
12 there wouldn't be as many people. We need -- and
13 electricity needs to be produced where it's used
14 and it needs to be renewable. This label needs
15 to reflect that, needs to give people warning
16 they need to conserve, they can't just buy, oh,
17 I'll buy this green product. And then you're
18 going to tell them every last kilowatt that comes
19 out of that plant actually arrives to you but
20 it's supported by fossil fuels. That needs to be
21 conveyed.

22 And other areas, it dawns on me there's a
23 calculation for emission intensity that you're
24 supposed to adopt with the Air Resources Board.
25 I don't see any of that methodology in these

1 regulations. I don't see any of that. Is it
2 true? Do you have this methodology --
3 methodology in this regulation?

4 I'll go right from the code. Public
5 Utility Code 398.4(k)(2)(a), the Energy
6 Commission adopt a methodology and consolation
7 with the Air Resources Board for calculating
8 greenhouse gas emission intensity for each
9 purchase of electricity by a retail supplier to
10 serve its customers. And then further in that
11 series, under (k)(2), you're to deliver this
12 information for people to do calculation upon. I
13 don't find any formulas. I don't find any
14 information in the expressed terms on how these
15 calculations are done.

16 Is it --

17 MS. LEE: So in interest to all of our
18 folks that need to comment in the five-minute
19 window, why don't you please finish your comments
20 and then we'll address it.

21 MR. UHLER: Okay. Well, I'm looking --
22 okay. I want -- it appears that you're missing
23 some regulation, and I would like to know where
24 this calculation is and how you're going to
25 calculate these emission factors.

1 And above all, like I've said over and
2 over again, the public needs to know actually
3 what's happening. This bit about oh, you bought
4 something and it can only bid on contractually,
5 it's not going to work. You know, hit a wall and
6 everybody will be wondering why you didn't build
7 it here and you invested and somebody else is
8 getting all the renewables because it's already
9 built by them.

10 Thanks.

11 MR. SCAVO: Just to speak to that
12 briefly, we did develop our methodologies in
13 consultation with the Air Resources Board. The
14 calculations for determining emissions are
15 included in Section 1393, and it's based on CARB
16 data and CARB methodologies.

17 MS. LEE: We'll be using the emissions
18 intensities assigned by CARB to each facility.
19 If that's unclear in the regulation, we'll
20 definitely follow up but I do want to make sure
21 we have an opportunity for all of our commenters.

22 Is there anybody in the room that would
23 like to speak that didn't turn in a blue card?

24 Yes, please come up to the podium and
25 introduce yourself and your affiliation. Thank

1 you.

2 MS. MILLNER: Good afternoon. Marcie
3 Millner with Shell Energy North America.

4 We're an energy service provider in
5 California and we serve commercial and industrial
6 customers so we have been reporting under the PSD
7 regulations since the beginning of the
8 regulations.

9 So we appreciate that its intent is to
10 provide clear and accurate information about the
11 customer's sources of electricity, but there are
12 three areas that we really wanted to focus on
13 that -- where we think there's a miss.

14 And the first which speaks, Jordan,
15 directly to your point about a mismatch between
16 procurement and retail sales and that's the
17 requirement that LSEs report only power that was
18 generated in the prior year that is sold to
19 retail customers. And that provides a challenge
20 for us as an energy service provider because as
21 you know, the RPS regulations allow a three-year
22 retirement.

23 So what this challenge looks like is if
24 Shell Energy were to go out and buy a slug of
25 wind energy that's produced only -- or generated

1 only in 2017, it then invoices its customers over
2 time in order to manage the cost for those
3 consumers. But what that looks like on the label
4 is that in 2017 that they received 100 percent
5 RPS when in fact that's not what they received.
6 We're going to be billing them in 2018 and 2019
7 for those wind resources or whatever it was that
8 we procured that was generated in 2017.

9 So I think if that requires a legislative
10 change to align the actual sales with what is
11 being procured regardless of the year it was
12 generated, then we would encourage the Commission
13 to work with the legislature on fixing that.
14 Alternatively, we would suggest that you be very
15 clear in the label and the footnote about the RPS
16 to state that this -- this -- these sources of
17 electricity don't necessarily match what you're
18 being invoiced because that is the intent of the
19 label.

20 The second issue that I wanted to address
21 was with respect to the unspecified resources.
22 It appears that you are using ARB's default
23 emissions rate which was calculated only on
24 generation resources outside of California. And
25 so you're assuming that all unspecified resources

1 are imported. And I think it would be valuable
2 to have two unspecified source rates, one
3 calculated associated with imports and then the
4 other associated with an ISO system purchase, for
5 example.

6 Because the ISO DMM reports annually to
7 you what its sources of generation are by fuel
8 mix. It would be very easy to assign an annual
9 ISO system power for unspecified sources. They
10 could look at the imports and the OATI tags that
11 are associated with that percentage of generation
12 that is imported and be able to come up with an
13 ISO system power mix. And I think that that
14 would go much farther in being more accurate in
15 what we're telling our customers we're selling
16 them.

17 And then the last thing was really to
18 talk about the PCC-2 which other folks have
19 mentioned and will probably continue to mention.
20 And I would note as Brian noted that ARB does in
21 fact zero out that carbon obligation. So it is
22 accounting for those emissions but it's not
23 assigning a carbon obligation with those imports.
24 So should you go forward with detailing that
25 there are emissions associated with those PCC-2

1 imports, we feel it's really important to state
2 that the state does not impose any carbon
3 obligation associated with those imports.

4 So thank you, again, I appreciate the
5 opportunity.

6 MS. LEE: Thank you.

7 MS. MILLER: Hi, good afternoon, I'm
8 Margaret Miller with Avangrid Renewables. We are
9 one of the larger suppliers, developers, owners,
10 operators of renewable energy in North America,
11 and we are a supplier of PCC-1 and PCC-2 products
12 to Load Serving Entities to help them achieve
13 their procurement goals to meet California's
14 policy goals.

15 My concerns have been raised by others so
16 I'll keep my comments very brief. We want to
17 reiterate our support for the comments provided
18 by Brian Biering on behalf of AWEA California.
19 Our concerns are specific to the reporting of
20 PCC-2 power. We do encourage Commission staff to
21 modify the proposal to allow PCC-2 to be reported
22 based on the attributes of the bundled
23 procurement rather than the incremental energy.
24 As others have stated, that does -- would put
25 this proposal in line with the RPS program and

1 the flexibility that's offered to Load Serving
2 Entities under PCC-2 in order to meet their
3 procurement obligations. This proposal as it
4 stands would undermine that.

5 In addition, as Marcie and Brian and
6 others have mentioned, I think the spirit of this
7 proposal is to be in line with the cap and trade
8 MRR regulation. But this is not in line with
9 that regulation in that there is the RPS
10 adjustment that applies under MRR. And that was
11 put in place specifically to acknowledge that
12 these firmed and shaped contracts do exist, that
13 is why that policy was implemented. So we
14 encourage you to modify this element of the
15 proposal.

16 I also wanted to mention as a supplier, I
17 can tell you that this proposal will increase
18 costs significantly for consumers in California.
19 This proposal will basically create an incentive
20 to firm and shape with hydro resources. Those
21 are specified source resources that come at a
22 higher cost than what PCC-2 currently provides
23 for Load Serving Entities. And we're estimating
24 that cost is about five to eight dollars per
25 megawatt hour. That cost would increase. So

1 either Load Serving Entities aren't going to
2 procure PCC-2 or they're going to firm and shape
3 with hydro and that will result in significant
4 cost increases. So we want you to keep that in
5 mind going forward.

6 The other concern that I wanted to raise
7 is in regards to the contracting of firmed and
8 shaped contracts of January 1st, 2019. We have
9 already entered into contracts with Load Serving
10 Entities. After that date, I realize guidance
11 was put out but we still have not finalized
12 regulation. We have signed other contracts that
13 go out through 2020. That's a concern for us as
14 well as Load Serving Entities that are expecting
15 to report this firmed and shaped power as zero
16 GHG.

17 So I support Brian Biering's comments in
18 that the grandfathering date should be removed
19 completely. I don't think we need it because as
20 I -- as I just stated, firmed and shaped energy
21 should count as zero GHG regardless of the
22 procurement date to remain in line with these
23 other rules under RPS program and the MRR, cap
24 and trade MRR.

25 At a minimum, if we are to move forward

1 with this proposal, the grandfathering date needs
2 to be moved out or I should say the
3 implementation of this policy should be moved out
4 to 2021 at the earliest. Thank you.

5 MS. WEISZ: Hi, this is Dawn Weisz and
6 I'm speaking as the president of Cal CCA. I'm
7 also the CEO of MCE Clean Energy.

8 And I wanted to thank the Commission for
9 taking comments today. We have also provided
10 written comments and we'll do so again in this
11 round.

12 The main things I wanted to highlight are
13 that the proposed regulations would create a
14 stark inconsistency between the California RPS,
15 CARBs rules, and current best practices around
16 GHG accounting. This is confusing to customers.
17 It's also expensive or possibly not possible for
18 suppliers to comply with the requirements,
19 specifically around PCC-2. The regulations would
20 devalue PCC-2, counting the firm incrementally
21 delivered renewable energy as if it were a
22 conventional system power.

23 The IPS counts PCC-2 as renewable and
24 CARB counts it as carbon free as has been noted
25 by many of the prior speakers. The regulations

1 would also count carbon-free EIM transactions
2 like hydroelectricity from Washington state, for
3 example, as if it were system power rather than
4 carbon free. So it's not clear to me how this
5 helps us get to our overall goals. I believe
6 that the Commission is in alignment with our --
7 many of our CCA local boards who want to see more
8 renewables available to meet the growing SB 100
9 goals, inclusive of the growing electric vehicle
10 load that we're going to see. We need access to
11 a lot of different types of renewable resources
12 rather than finding ways to limit the types of
13 resources that are available.

14 We also are aligned with your Commission
15 in wanting to avoid curtailment of renewables in
16 California to the extent possible. These
17 proposed regulations do not help us move in that
18 direction. Also I think we are aligned with your
19 Commission wanting to keep customer rates as low
20 as possible. I don't see that happening through
21 these proposed regulations.

22 These regulations would actually shift
23 renewable and GHG free purchases to in-state
24 only, limiting supply and driving up costs and
25 likely increasing curtailment and increasing

1 reliability issues or shortages around
2 reliability.

3 As was noted by the representative from
4 the U.C. system, there's a stark inconsistency
5 between these proposed regulations and the
6 regulation -- the best practices that have been
7 used for many years across the nation and
8 globally. Why does California want to set up
9 something that's so different at a time when
10 there's so much other volatility in the market?

11 For the growing number of agencies, CCAs
12 in particular that are accelerating their GHG
13 free purchases, it would increase cost to
14 customers. For MCE, we've done the analysis and
15 found that our ratepayers, not our shareholders,
16 because we don't have any, our ratepayers will
17 pay an extra \$9 million every year to buy PCC-1
18 instead of PCC-2. And that's what we'll do if we
19 need to, but we don't think that's the right
20 direction for California to be taking right now.

21 It's also important to note that the
22 language in AB-1110 which was the result of input
23 from many parties and which we ultimately
24 supported is not reflected in these proposed
25 regulations for PCC-2 treatment. The proposed

1 regulations are inconsistent with what was
2 anticipated as part of the statutory language
3 that was agreed to.

4 So we have three -- three specific asks.
5 The first is we ask that you revisit the
6 treatment of PCC-2 and adjust the requirement so
7 that PCC-2 can qualify under the RPS as GHG free.
8 And the same way it counts under the RPS, it
9 should count as GHG free to avoid confusion for
10 customers.

11 Second, we'd like the Commission to be
12 able to include the EIM transactions that we are
13 engaged in, possibly through using the CMRIs in
14 the same way that the ETACs are used so that GHG
15 free transactions in the EIM can count. We need
16 to be able to rely on the EIM and I know that
17 aligns with CAISO's perspective in order to
18 increase access to renewables and reliability.

19 Our third ask is that if the CEC is going
20 to move forward without allowing PCC-2 to qualify
21 as GHG free, we would implore you to at least
22 implement this rule change as it was envisioned
23 under the statute giving one year after the rules
24 are in place to allow for procurement to be
25 adjusted. The statute is very clear in setting a

1 January 2018 date for the rules to be adopted and
2 then an end of 2019 date, the end of December is
3 when the rules -- in 2019 for the rules to become
4 effective.

5 Since we're behind schedule, let's not
6 make the customers lose out by getting
7 information that's confusing and that really
8 backtracks without giving us any opportunity to
9 procure according to the rules. A one-year
10 period to procure is what we would ask for to
11 align with the statute.

12 And I just want to note that Load Serving
13 Entities have been procuring throughout 2019
14 under the existing rules and there's no benefit
15 in penalizing these LSEs when there's no way for
16 us to go back in time and repurchase for the
17 year. Our customers have already paid for our
18 resources this year as if they were GHG free
19 because that's what the current rules say. It's
20 not fair to take away a resource that we've
21 promised to our customers by changing the way it
22 is categorized.

23 MR. KASTIGAR: Ma'am, sorry --

24 MS. WEISZ: Yeah.

25 MR. KASTIGAR: -- your five minutes are

1 up.

2 MS. WEISZ: Okay. Thank you very much.

3 MR. RIDER: May I ask a clarifying
4 question of you and then maybe if Tim, you're
5 planning to come up again, of you or in written
6 comment if you prefer. This is Ken Rider, by the
7 way, with the Energy Commission.

8 And when you say you -- you were
9 mention -- you were talking about Bucket 2
10 resources and then said that you couldn't comply
11 or there was a compliance issue.

12 And then, Tim, earlier you said there
13 was, you know, you're not going to get compliance
14 or -- can you be more -- and this can be in
15 written comment, but can you be more specific
16 about exactly what it is that you're not going to
17 be able to comply with and what the concern is
18 around compliance? Because I understand the
19 other concerns you raised but I would like to
20 understand a little bit better as we deliberate
21 exactly what you mean when you can't comply.
22 That's really important to understand better.

23 MS. WEISZ: Yeah, thank you for the
24 question. First of all, I think the issue with
25 not being able to comply going backwards is, you

1 know, we've procured Bucket 2 this year, it
2 qualifies under the RPS, we followed the RPS
3 percentages for how much Bucket 2 is in our
4 portfolio. We are exceeding compliance with the
5 state's RPS, and so we can't go backwards in the
6 last month of the year and sell off all of our
7 Bucket 2 and then rebuy a bunch of Bucket 1.

8 So what's going to happen is when our
9 customers get their Power Content Label, under
10 the proposed regulations what would happen is
11 they would get their Power Content Label in
12 October 2020 and it would show their 2019 GHG
13 emissions rate as much higher than what was
14 intended and promised to them by us because we've
15 purchased for all of 2019 under the existing
16 rules.

17 So it's really an issue of it doesn't
18 make sense to change the rules after the fact.
19 If the rules are going to be changed, you need to
20 change them and then expect folks to make a
21 change.

22 The other issue, though, is as far as
23 suppliers maybe having an issue with complying, I
24 wanted to note that the documentation
25 requirements for firmed and shaped transactions

1 seems to have changed in the September 6th
2 revisions to the express terms and it now
3 includes an element that deviates from commercial
4 terms typically reflected in PCC-2 transactions
5 which is the inclusion of EIA numbers associated
6 with generators supplying substitute energy.

7 And this is a substantial problem because
8 as Bucket 2 suppliers are highly unlikely to be
9 able to declare such resources in advance at the
10 time that a contract is executed. So as we're
11 designing rules, we need to make sure that they
12 actually can be accomplished through existing
13 market mechanisms.

14 Thank you.

15 MS. LEE: I believe we have a few more
16 speakers in the room. I just for a time check
17 for the Commissioner wanted to ask Ryan, do we
18 have a large number of hands raised on the WebEx?

19 MR. KASTIGAR: I believe we have two
20 people with their hands raised.

21 MS. LEE: Okay. Great. Thank you. Just
22 with that in mind, I ask that we really try to
23 stick with that five-minute window if we can.

24 MR. TUTT: This is Tim Tutt from SMUD
25 again.

1 I just wanted to briefly address the
2 issue that Ken raised.

3 We have been marketing to our voluntary
4 customers or Greenergy customers a certain
5 product. And if we send them a Power Content
6 Label next year that doesn't match that product
7 to which they marketed to them which they have
8 assumed they've procured, there -- that causes
9 significant questions in terms of audits and in
10 terms of compliance with our CRS requirements,
11 and so on. It's not clear whether we could
12 actually change the product at this point in time
13 to buy resources that comply with the new rules
14 and go back clear to January and make that
15 happen. If we could, it would at the very least
16 to be fairly costly for us to do that and would
17 cause a lot of confusion amongst the costumers
18 that have already been marketing the Greenergy
19 program as it stands.

20 MR. KARPA: Wait for the reset there.

21 Yeah, I'm Doug Karpa from Peninsula Clean
22 Energy.

23 I had a couple of issues to bring before
24 you. I think one -- the first one really is
25 around timing. I am part of the Cal CCA work

1 team that is involved in the PCIA proceeding at
2 the Utility Commission. And wanted to highlight
3 there's a bit of a potential timing issue because
4 in the PCIA proceeding, we are working on
5 mechanisms to transfer energy from the IOU PCIA
6 portfolios to LSEs whose customers pay the PCIA.

7 So that optimization process may in fact
8 have implications for this regulation because it
9 would be very nice if this regulation could
10 actually accommodate whatever transfer mechanisms
11 come up in, you know, eventually come out of that
12 proceeding. The work group is scheduled at the
13 end of January with a proposed decision.
14 Decision coming out sometime thereafter, probably
15 Q2 of next year. So I would put that on your
16 radar as a potential timing issue that it might
17 be worth waiting to see what's coming out of that
18 proceeding in order to make sure that these
19 regulations actually can accommodate all of the
20 implications of those mechanisms, rather than
21 maybe having to go back and redo them.

22 I also wanted to, I think, urge you to
23 take this issue of reexamining of how PCC-2 RECs
24 actually should be treated. I know there's been
25 a lot of discussion here about the implication --

1 one, there's obviously, I think, probably a
2 difference between the actual physical GHG
3 emissions from those products and then compared
4 to how they are treated.

5 But I think there's also -- it is
6 important to recognize that the treatment does
7 shape how Load Serving Entities are going about
8 in the market, certainly for Peninsula Clean
9 Energy even the regulatory uncertainty around
10 them has, I think, shaped some of our decision
11 making processes around these products.

12 So I don't think it's the sort of thing
13 that we can pretend that won't have implications
14 for how this market is shaped going forward. So
15 I really would urge you to take the time to
16 reexamine that issue as well.

17 Thank you.

18 MR. EDMISTER: Good afternoon,
19 Commissioner, staff, thank you for your time this
20 afternoon.

21 I'm Todd Edmister, I'm the regulatory
22 affairs director for East Bay Community Energy.

23 Like Dr. Karpa, I've been deeply involved
24 in PCIA land at the Public Utilities Commission,
25 one of the colleagues on one of the other working

1 groups at the Commission.

2 And I wanted to speak with you today
3 about a distinct but related corner of PCIA land
4 that has resulted in an emerging issue that we
5 were not aware of as of February but we do expect
6 to be putting before you when comments on the new
7 regulations come into effect now. Specifically
8 it's this, the way that the PCIA is configured
9 and the underlying accounting at the PUC is set
10 up, all customers that pay the PCIA are paying
11 for the full panoply of utility resources. And
12 in particular, we're paying for all of the GHG
13 free resources as well as the RPS and so forth.

14 I want to focus on the GHG free for a
15 moment. Right now there is no mechanism by which
16 the customers were paying the PCIA and by
17 extension, paying for the GHG free resources can
18 make a claim on the GHG free resources for their
19 reporting purposes, even though they're paying
20 for them.

21 Historically, there's been some
22 opportunities that the utilities presented to
23 contract for these resources but that was not
24 made available for 2019. This inequity is
25 something that we, the CCAs, EBC in particular

1 raised with the Public Utilities Commission. We
2 are currently working with PG&E. By we, I mean
3 EBC and a consortium with NorCal Utilities.
4 We're working with PG&E to, we think, rectify
5 this issue, this inequity around payment versus
6 crediting to provide for essentially the same
7 sort of two-step that we're seeing as the
8 explanation for the CAM approach here, where
9 those who pay and put their head up and say yes,
10 I would like some of that, please, can have a
11 share allocated to them.

12 Now it overlaps a little bit with Working
13 Group 3 where they're also working allocation
14 methodology. But to add a wrinkle here is this
15 would be an interim methodology until whatever
16 Working Group 3 comes up with gets adopted.
17 Point simply being that we have a time and issue
18 here as well because we are I the throes of
19 negotiating an arrangement with PG&E that we
20 think will work going forward, also can work
21 retrospectively but we have a regulation here
22 that only provides for counting for things where
23 there is a contract going forward.

24 So what we're really anticipating coming
25 forward to you with in a couple of weeks when the

1 comments are due is a square peg. We're talking
2 here solely about GHG free resources, we're not
3 talking about RECs, we're not talking about PCC-
4 2s or out of state imports or firmed and shaped
5 transactions, we're talking solely about GHG free
6 from specific in-state resources and having the
7 essentially the accounting adjusted after the
8 fact to show that pursuant to the allocation
9 mechanism, again, which is still in the works,
10 but assume that it comes forward, the GHG free
11 associated with that set of resources that is
12 available for allocation for those PCI payers
13 that want to take it goes to the correct account
14 and doesn't simply pile up entirely with the
15 utility customers, that it goes to anybody who's
16 paid and puts their hands up and says they're
17 interested in taking it.

18 Again, we -- you know, we think that this
19 is a square peg, it doesn't quite fit the rubric,
20 it's not anything that's been talked about so far
21 today in terms of PCC-2s, unbundled REC, firmed
22 and shape, but it's also not a contract that has
23 been entered into in advance. At least part of
24 this will be backward looking.

25 So we're going to probably be asking you

1 to get out your scalpels and carve an
2 appropriately shaped hole here for this
3 particular arrangement when we're in a place
4 where we can formally present it to you.

5 Thank you.

6 MR. TUTT: Hi, Tim Tutt from SMUD again.

7 I had a question or a couple of questions
8 about the initial study and negative declaration
9 of the Environmental Analysis. That analysis
10 does recognize that its proposed project will
11 result in procurement changes by California
12 retail suppliers, and then it goes on to say that
13 the CEC expects any procurement changes to be
14 limited to increased imports of hydroelectricity
15 from the Pacific Northwest and reductions of in-
16 state or imported electricity derived from
17 natural gas or unspecified power.

18 I have two questions at first, I guess.
19 One is, do you expect that the proposed project
20 may also result in procurement changes in the
21 voluntary market given your testimony -- or the
22 testimony you've heard today about the evaluation
23 of RECs and changes in that market potential --
24 potentially?

25 And two, what's the rationale for your

1 statement about your expectation of the limited
2 changes that you've had -- you see from this
3 regulation given that there's been a lot of
4 written testimony or written comments and
5 comments today that indicate that the market
6 impacts on renewable procurement might be
7 significant?

8 MR. SCAVO: The rationales for the
9 initially -- initial Environmental Impact Study
10 and for the fiscal and economic impacts are
11 embedded in those documents.

12 MR. TUTT: There's really --

13 MR. SCAVO: As noted, there are --

14 MR. TUTT: There's really not much more
15 detail besides what I just read on that.

16 COMMISSIONER DOUGLAS: So, Tim, if you'd
17 like to make further comment on that, you are of
18 course very welcome to.

19 MR. TUTT: Thank you.

20 COMMISSIONER DOUGLAS: Thank you.

21 MR. FREEDMAN: Thank you. Matt Freedman
22 here on behalf of The Utility Reform Network.

23 TURN was the outside sponsor of Assembly
24 Bill 1110 and we worked very closely with
25 Assembly Member Phil Ting on getting that bill

1 through the legislature and engaged with many of
2 the stakeholders here in this room around
3 negotiating the language.

4 We appreciate the hard work of staff and
5 the commissioners have done to get the process to
6 where it is today. We understand that it has
7 been a long process and we get that the issue is
8 fraught with complications. It is not an easy
9 thing to tackle and the deeper you dive into it,
10 the more confusing sometimes it may appear. That
11 said, we believe that the proposed regulations
12 are consistent with both the letter of AB-1110
13 and the intent of the statute and we want to be
14 clear that this bill was never intended to
15 establish requirements around what Load Serving
16 Entities are allowed to procure. And I think the
17 staff and commissioners understand that.

18 This is a reporting methodology. It does
19 not require any Load Serving Entity to buy or not
20 buy any particular product. And I'm concerned
21 that there's a conflation of the reporting
22 protocols with this sense that these constitute
23 procurement obligations unto themselves which
24 they do not.

25 We understand that some of the proposed

1 changes here are opposed by entities that buy and
2 sell and market and certify various types of
3 renewable energy attributes. We get that market
4 participants want fewer restrictions. They want
5 more freedom to establish all different types of
6 commercial transactions in which they can convey
7 environmental claims.

8 But the Commission's goal is not to
9 accommodate all of those transactions. It's to
10 work with the other agencies consistent with
11 state law to establish consistent approaches.
12 And we believe that the approach here is
13 consistent with both the approach the ARB has
14 taken and maybe even more importantly with what
15 the Public Utilities Commission has adopted.
16 Many of the parties here are complaining about
17 the treatment of firmed and shaped resources
18 saying it is completely unfair to deny those
19 resources a carbon-free attribution in their
20 portfolios.

21 Well, if you just gaze west to San
22 Francisco, you'll note that the Public Utilities
23 Commission has adopted that exact treatment as
24 part of the Integrated Resources Planning
25 Process. They have said that entities submitting

1 integrated resources plans may not make any zero
2 carbon claims based on forward procurements of
3 PCC-2 or firmed and shaped products. So your
4 reporting protocols would be in perfect alignment
5 with that particular element of how the PUC
6 treats this issue.

7 And the PUC also doesn't allow unbundled
8 renewable energy credits to be treated as a
9 carbon offset for purposes of Integrated
10 Resources Planning. I think those are really
11 important things to understand. So we support
12 the treatment of unbundled renewable energy
13 credits. We support the treatment of firmed and
14 shaped resources. There was a number of comments
15 made about the RPS adjustment at the Air
16 Resources Board as if somehow that demonstrates
17 that the state has adopted a policy of treating
18 those imports as zero GHG. It does not. It
19 relieves importers of a financial obligation to
20 pay for the carbon pricing associated with the
21 import but it does not change the accounting
22 under the MRR.

23 And if you -- I'm sure you folks know
24 this and I know there have been participation
25 from the ARB in this process and I would direct

1 you to the ruling that the PUC issued in its
2 integrated resources planning process docket
3 where it addresses this exact issue and makes
4 this distinction. I think it's quite important.

5 In terms of the grandfathering treatment,
6 I would agree that this is an imperfect solution
7 at best. I'm not a fan of grandfathering but we
8 do recognize that entities entered into
9 commitments prior to the Energy Commission
10 notifying participants that there was going to be
11 a change in direction. And we think that this
12 approach is actually fairly consistent with how
13 the Energy Commission handled a similar situation
14 that arose with pipeline biomethane transactions
15 where the Commission notified market participants
16 that it was suspending eligibility for new
17 transactions, that historic transactions would
18 count but not new ones. We think there are
19 parallels there that justify the treatment here.

20 And finally, there's been this notion
21 that RPS eligibility is the same as calling a
22 product zero GHG. It is not. They're different
23 programs and what you're doing here is not
24 attempting to say that if it qualifies for RPS,
25 it is automatically zero GHG.

1 Finally, one last comment about the PCIA.
2 We are also involved in that process and I'll
3 just flag some concerns we have about proposals
4 to allocate historic delivered attributes after
5 the fact amongst retail suppliers. TURN is not
6 on board with that and we are expressing concerns
7 in that process at the PUC. So I would not take
8 what you've heard today as an expression of a
9 done deal or an indication that the PUC is about
10 to sign off on that particular proposal,
11 especially as it relates to historic attributes
12 and not forward transactions.

13 And we'll submit these in written
14 comments. Thank you.

15 MR. TOMASHEFSKY: Promise I won't take
16 more than two minutes until I do.

17 One thing that's interesting through this
18 entire process is, is we're dealing with what the
19 -- what the label is. And if you think about,
20 this label is now 21 years old and it's gone
21 through an evolution that started with direct
22 access, has gone through a number of transitions.
23 And now we're trying to force it into an
24 environment where we have lots of financial
25 trading that were created in the climate program

1 for good reasons.

2 And so we're dealing with the ability to
3 sell off renewables, to generate revenue that
4 would be used for investment and clean energy and
5 a lot of utilities do those things. When they do
6 that, it changes the dynamics of what's in the
7 Power Content Label. So as a proxy, the label
8 itself for what it's worth and all the -- all the
9 argument back and forth, it is intended or at
10 least it's greatest value is to say I can do a
11 relative comparison between where the state is
12 what other utilities are doing, but it's not an
13 exact science. And we've gone through a lot of
14 these reasons why it's not. And we're trying as
15 hard as we can to make it an exact science. So
16 it is not an exact science.

17 But I could take a look at the label
18 today and as much as it's got some flaws, I can
19 get a relative feel for where things are in terms
20 of procurement. And after we deal with this, I
21 can get a relative feel for where things are with
22 respect to emissions intensity. But it's not an
23 exact science. It is a -- the compliance is the
24 reporting aspect. So I do agree with Matt on
25 that one as far as it is -- it is the reporting

1 aspect of what comes to consumers.

2 Transparency is extremely important to
3 our members and it's extremely important to every
4 governing board that tests this thing and signs
5 off on it. And to the extent that it has flaws
6 for better, for worse, it still has to have some
7 recognition that your actual miles may vary.
8 This is no different when you get a car that has
9 an EPA limit and it says these may vary because
10 certain things you do to the extent that you are
11 participating in the cap and trade market and
12 you're dealing with -- with selling off
13 renewables to generate revenues and investing in
14 other things. Whether it's part of the low
15 carbon fuel standard program or what, there's a
16 lot of things that are going on in the
17 marketplace you cannot capture in this particular
18 label.

19 So regardless of where we end up, there
20 still needs to be some recognition in the label
21 that this may be not exactly 100 percent true in
22 form, in terms of what that number represents.
23 When someone says my carbon footprint is 322
24 pounds on my label, it may be a little bit
25 different than that. And there needs to be at

1 least at an absolute minimum, there needs to be a
2 footnote that recognizes that.

3 These numbers may be impacted by the
4 results of trading and other things that are --
5 that are fully allowed under the state's climate
6 program. Because it needs to bring it back to
7 the fact that this is just one piece of
8 information that's available to customers to try
9 and get an understanding of what their -- what
10 their utility is doing for them or not doing for
11 them. But it's not the end all. And there needs
12 to be some reflection of that.

13 One little thing like that at least
14 provides enough transparency to say I'm giving
15 you this information based on the rules that were
16 set. I had some concerns with some aspects of it
17 but this allows me to say it may be a little bit
18 different than that. But it gives you a decent
19 proxy.

20 So just kind of keep that in mind as you
21 deal with regulations that as much as we love
22 flexibility and we loved to have the label look
23 the way we want it to and whatever we want it to
24 address, we still need to have those disclaimers
25 in there that just talked about what this thing

1 is and what it's not. And that's the one thing
2 that's missing from Footnote 1 and 2. One
3 small -- one additional footnote will help there
4 immensely. Won't solve our problems, but it will
5 solve the transparency problem that we deal with
6 when we're addressing consumers.

7 MS. LEE: No one else is standing up in
8 the room so let's move to comments on the --
9 let's go ahead and move to our comments on the
10 WebEx and then we'll give you all another
11 opportunity.

12 And Dawn, I owe you an apology about
13 the -- your earlier comment on EIM that we'll
14 address as well.

15 MR. KASTIGAR: Okay. Our first comment
16 is from Maya Kelty. Maya, you are now unmuted.

17 MS. KELTY: Hi, can you hear me?

18 MR. KASTIGAR: Yes.

19 MS. KELTY: Yeah? Okay. Perfect, thank
20 you.

21 Hi, my name is Maya Kelty and I am with
22 the regulatory affairs team at 3Degrees.

23 Thanks so much for giving an opportunity
24 for those of us on WebEx to participate as well.
25 I unfortunately couldn't make it to Sacramento

1 today.

2 But I'd like to thank the CEC
3 commissioners and staff for leading this workshop
4 and for broader work on implementation of AB-
5 1110. Along with many other attendees at this
6 workshop, 3Degrees has been engaged in the
7 rulemaking process for AB-1110 for a few years
8 now.

9 So I'm getting quite a bit of feedback.

10 MS. LEE: I'm sorry, we turned down the
11 volume here to hear you a little better. We're -
12 -

13 MS. KELTY: Okay.

14 MS. LEE: We can turn down our volume
15 here a little bit if

16 MS. KELTY: I turned up the mic, but I'll
17 try to be

18 MS. LEE: Yeah, if you can speak up, then
19 we'll turn the volume back down here.

20 MS. KELTY: Okay. So for those
21 unfamiliar with 3Degrees, we work with
22 organizations across California including
23 utilities and corporate customers to help build
24 and implement renewable energy strategies,
25 products, and programs.

1 So I'd first like to voice our support
2 along with several others who have spoken about
3 the provisions and the draft rules that require
4 that RECs be retained in order to report any
5 renewable energy (indiscernible) and the
6 associated greenhouse gas emissions of that
7 generation. We support that all credible
8 renewable energy purchasing must be supported by
9 RECs.

10 We disagree with the treatment of Bucket
11 2 and Bucket 3 RECs in the proposal and
12 anticipate that the proposed plan could be
13 confusing for customers. But we also acknowledge
14 that any final proposal must (indiscernible)
15 multiple stakeholder perspective and policy
16 goals. So in that context, similar to Todd from
17 CRS's comments, we view the final program rules
18 to be as important as the statement of reasons
19 explaining why certain decisions have been made.

20 We find that the justification that's
21 been provided for the initial statement of
22 reasons for treatment of Bucket 2 and Bucket 3
23 RECs inaccurately criticizes RECs in a way that
24 RECs undermining important investments made in
25 renewable energy in California and across the

1 country each year. The statement of reasons
2 criticizes these procurements as inaccurate and
3 questions their role it seems as valid ways to
4 procure renewable energy. But the reality is
5 that renewable energy procurement in the
6 voluntary market and in compliance markets across
7 the country rely heavily on the ability to first
8 RECs project without also contracting for that
9 underlying electricity.

10 Focusing on private purchasing of renewal
11 energy in the voluntary market, according to NREL
12 in 2018, at least 134.3 million megawatt hours of
13 renewable energy were purchased by voluntary
14 customers and at least half of that was purchased
15 through unbundled RECs. But the number that's
16 presented there actually underrepresents the
17 number of unbundled RECs purchased in the U.S.
18 voluntary markets and the number of other
19 procurement options including utility green
20 pricing programs rely on regionally sourced
21 unbundled RECs. And a portion of the nearly 24
22 million megawatt hours sold through a Power
23 Purchase Agreement are financial or sometimes
24 termed virtual PPAs where the customer signs a
25 long-term contract for RECs without physical

1 delivery of the power.

2 So all of these options provide access
3 for lots of different customers to access
4 renewable energy. While the statement of reasons
5 expressly says at one point that the program is
6 not meant to assess the environmental benefit of
7 RECs procured in good faith for RPS and voluntary
8 purposes, the reality is that much of the
9 statement of reasons seems to contradict this
10 message. The statement of reason does make
11 seems to make negative judgments about the
12 environmental benefits of the procurement options
13 and their accuracy in renewable energy and
14 greenhouse at the time.

15 So we, you know, will submit written
16 comments with additional feedback. But I think a
17 main point for us is that if this is the proposal
18 that is moved forward with, it's important that
19 the final statement of reasons be revised to no
20 longer question the validity of these renewable
21 energy procurement options.

22 And it's possible -- we think it's
23 possible for the CEC to move forward with the
24 program as written without stating that RECs are
25 an accurate way of purchasing renewable energy,

1 but it could be more accurate to state that the
2 boundaries of what renewable energy can be
3 reported or chosen in order to align with the
4 boundaries of what is reported under the
5 mandatory reporting requirement.

6 So thank you again for this opportunity
7 to speak and for holding this workshop, we look
8 forward to submitting comments.

9 MS. LEE: Thank you.

10 MR. KASTIGAR: Thank you, Maya.

11 It looks like there's no other attendees
12 with raised hands. If you are viewing remotely
13 and you would like to make a comment, this is
14 your last chance to speak so please leave a
15 comment in the chat feature or use the raise hand
16 feature if you'd like to speak.

17 MS. LEE: Okay. Dawn, would you like to
18 comment.

19 MS. WEISZ: Yeah. Thank you for the
20 opportunity to comment. I do have one comment on
21 the EIM transactions and just wanted to request
22 that that be considered as an addition to the
23 definitions. And that's all.

24 And then I also just wanted to clarify in
25 response to one of the comments that was made

1 previously that speaking now as the CEO of MCE,
2 we are -- we're a CCA, we're a public agency
3 founded with a mission statement to reduce
4 greenhouse gas emissions.

5 So I just wanted to clarify that because
6 of our mission statement, we are governed by a
7 board of 28 board members. The rules adopted by
8 the CEC will absolutely impact our ability to
9 procure. So there was a comment made that these
10 rules aren't going to really cause any changes in
11 the market. They will. They will cause changes
12 for our agency. I believe they will cause
13 changes for other CCAs, and they will absolutely
14 increase our ratepayer cost if there is a new
15 treatment imposed for PCC-2.

16 And I also wanted to clarify that the
17 intent of the statute, according to Mr. Freedman
18 in the audience there, is different from the
19 actual statute which many of us agree to support.
20 I noted that the legislative intent letter was
21 attached to the packet here which I found to be
22 odd. I know there are some prohibitions against
23 following legislative an author's intent letter
24 when that really can be different from the actual
25 statute that was negotiated and agreed to.

1 The public process is what should be
2 leading to the final result, and I think the
3 legislative intent -- or the actual statute that
4 was agreed to is reflected by many of the
5 comments that you've heard here today. So I hope
6 that the public process and the existing best
7 practices really can drive the process and the
8 final decision here.

9 Thank you.

10 MR. UHLER: Steve Uhler. On that
11 calculation, the statewide emission intensity
12 calculation that is required, I don't find that
13 in your regulation. I see the bid about factors
14 but no statewide calculation. Calculate the
15 greenhouse emission intensity associated with
16 statewide retail sales based on greenhouse
17 emissions for total California system
18 electricity. But I don't find a calculation that
19 supports that there.

20 MS. LEE: Thanks for that clarification.

21 MR. UHLER: Oh, and are the renewable
22 energy credits that are shown on the Power
23 Content Label, do they belong to each customer
24 whose -- who bought that portfolio? Are they
25 transferred to them?

1 MS. LEE: We'll address that through
2 public comment.

3 COMMISSIONER DOUGLAS: All right. Well,
4 it looks like we are through a packed agenda. We
5 are through public comments including in some
6 cases some multiple clarifications and comments
7 which can be very helpful. So thank you for
8 that.

9 This has been helpful for me to just be
10 able to sit through and listen to the exchange
11 and I appreciate all of your participation.

12 And let me just ask Natalie or Jordan if
13 they have any closing comments to make.

14 MS. LEE: I just, again, want to thank
15 everyone for their attendance, for continuing
16 this dialog. And I want to personally thank my
17 staff that are here in support roles and have
18 been working on this for three years now. We
19 could not have gotten this far without all of
20 them. So. That's all.

21 COMMISSIONER DOUGLAS: All right. Very
22 good. Well, then, thanks again, we'll look
23 forward to receiving written comments on this.

24 And workshop's adjourned.

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25


(Thereupon, the hearing was adjourned
at 4:36 p.m.)

REPORTER' S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 14th day of October, 2019.



PETER PETTY
CER**D-493
Notary Public

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



MARTHA L. NELSON, CERT**367

October 14, 2019