

STAFF WORKSHOP
BEFORE THE
CALIFORNIA ENERGY RESOURCES CONSERVATION
AND DEVELOPMENT COMMISSION

In the Matter of:)	
)	
Preparation of the 2008)	Docket No.
Integrated Energy Policy)	08-IEP-1
Report Update and the 2009)	
Integrated Energy Policy)	
Report)	
and)	
Implementation of Renewables)	Docket No.
Portfolio Standard Legislation)	03-RPS-1078
_____)	

CALIFORNIA ENERGY COMMISSION
HEARING ROOM A
1516 NINTH STREET
SACRAMENTO, CALIFORNIA

MONDAY, JUNE 30, 2008

9:00 A.M.

ORIGINAL

Reported by:
John Cota
Contract Number: 150-07-001

03-RPS-1078

DOCKET	
08-IEP-1	
DATE	JUN 30 2008
RECD	JUL 15 2008

COMMISSIONERS PRESENT

Karen Douglas, Presiding Member

Jeffrey D. Byron, Associate Member

ADVISORS PRESENT

Panama Bartholomy

Kristy Chew

Laurie Ten Hope

Tim Tutt

CPUC ADVISORS PRESENT

Stephen St. Marie, Advisor to Commissioner Bohn

STAFF PRESENT

Joseph Fleshman

Mike Leao

Kate Zocchetti

ALSO PRESENT

Anne Gillette, Energy Division, California Public
Utilities Commission

Wilson Rickerson, Rickerson Energy Strategies, LLC

Robert Grace, Sustainable Energy Advantage, LLC

Gary C. Matteson, Mattesons and Associates

Carl Zichella, Sierra Club

Mary Lynch, Constellation Energy

Adam Browning, Vote Solar

ALSO PRESENT

Sean Simon, California Public Utilities Commission

Craig Lewis, Green Volts

Liz Merry, Verve Solar Consulting

Joseph S. Velasquez, San Diego Gas and Electric
(SDG&E)

Kathy Treleven, Pacific Gas and Electric Company
(PG&E)

Marci Burgdorf, Southern California Edison (SCE)

V. John Smith, Center for Energy Efficiency and
Renewables Technologies (CEERT)

Laura Wisland, Union of Concerned Scientists (UCS)

Jacklyn Marks, California Public Utilities
Commission

PETERS SHORTHAND REPORTING CORPORATION (916) 362-2345

I N D E X

	Page
Proceedings	1
Welcome/Housekeeping/Ground Rules/Review Agenda	1
Opening Remarks	6
California Public Utilities Commission Status RPS Procurement and Renewable Project Development	9
Feed-In Tariffs: Exploring Feed-In Tariffs	27
Feed-In Tariffs Issues and Options Paper Presentation	78
Afternoon Session	168
Panel Discussion	
SDG&E	169
PG&E	175
SCE	177
CEERT	179
UCS	188
Stakeholder Comments	236
Closing Remarks	241
Adjournment	243
Reporter's Certificate	244

P R O C E E D I N G S

9:08 a.m.

MR. LEAON: Good morning and welcome.

This is Mike Leacon. I am the supervisor of the Integrated Energy and Climate Change Unit in the Renewable Energy Office. I would like to welcome you to the staff workshop exploring the use of feed-in tariffs to expand renewable energy generation in California.

I do have a few housekeeping announcements that I would like to cover before we get started.

First in regard to WebEx participation. We will be using the WebEx system for online participation. If you are on the phone but not tuned in to WebEx please follow the directions on page six of the Workshop Notice to log in using WebEx. The WebEx system will allow you to view slides and ask questions during the Q&A portion of the workshop. All WebEx users are muted on entry, which means those of you on WebEx are muted right now. We will unmute you during the Q&A sessions. And I will talk more to this point in a moment.

Regarding housekeeping. We do have handouts available on the table on entry into

1 searing Room A here. Restrooms are located across
2 the atrium. As you exit the room they would be on
3 your left, somewhat kitty-corner from the hearing
4 room. There is a snack bar on the second floor.
5 As you go up the main stairway here to the second
6 floor you'll see it directly across the outdoor
7 patio area.

8 Lastly, I do need to mention that in the
9 event of an emergency to please follow Energy
10 Commission staff outside. We need to exit calmly
11 and safely in the event of emergency. We would
12 gather in Roosevelt Park, which is across
13 diagonally from the Commission building, across
14 the intersection of Ninth and P.

15 And for those of you participating
16 remotely. If you are viewing a webcast in order
17 to participate on an interactive basis, again, you
18 will have to log in using WebEx.

19 Regarding ground rules. We do ask that
20 if you want to ask a question during the Q&A
21 portion that you please fill out the blue cards.
22 And you can turn those in to Commission staff to
23 my right at the podium or at the laptop there. We
24 will use those to allow participants to make
25 public comment. We would ask that you come up to

1 the podium and use the microphone to make your
2 remarks. And also to provide a business to our
3 court reporter to my left here. That would be
4 very much appreciated.

5 And also if you could be sure to mute or
6 turn off your cell phones.

7 During the question and answer portion
8 of the workshop we will take questions in the
9 order of the blue cards in the hearing room here.
10 Then also through WebEx participants who can
11 either click on the raise hand icon to indicate
12 that you have a question that you would like to
13 ask, and we will unmute you at the appropriate
14 time so that you can ask your question. Or you
15 can e-mail the host directly through the chat to
16 indicate that you have a question.

17 For those that may be participating by
18 phone only, we will try to allow some time to open
19 the phone lines. And again that process, if you
20 could wait to be prompted by me to ask a question
21 we will attempt to get some questions in for those
22 that are on the phone as well.

23 I do need to emphasize that we may not
24 be able to get to everyone's questions today. So
25 it's important that you also submit written

1 comments to support any testimony that you would
2 like to make.

3 And we are also providing a survey, an
4 online survey tool, which we hope to have
5 available by close of business July 3, but no
6 later than close of business Monday, July 7. And
7 we will have our contractor speak to that tool in
8 a little more detail. But we hope to be able to
9 provide greater flexibility for those that want to
10 make comments without having to go through
11 developing detailed, written comments.

12 Concerning the agenda. This morning we
13 will hear three presentations and we hope to have
14 opening remarks from Commissioner Karen Douglas as
15 well. We will hear from PUC staff this morning as
16 well as Energy Commission contractors.

17 And we will have two feed-in tariff
18 presentations. One, kind of an introduction to
19 feed-in tariffs and also an overview of the use of
20 feed-in tariffs in both Europe and North America.

21 Then we'll get into the nitty-gritty and
22 the specifics of the challenges of using feed-in
23 tariffs and a discussion of the Issues and Options
24 paper.

25 We'll break for lunch at 11:45 and we

1 will reconvene at one o'clock.

2 After lunch we'll have a panel
3 discussion in which our panelists will share their
4 perspectives regarding the potential use of feed-
5 in tariffs in California; followed by a brief
6 break.

7 And then we'll have stakeholder comment
8 time from 2:30 to four and we'll adjourn the
9 workshop at four o'clock.

10 I would also like to briefly touch on
11 the report development process. The purpose of
12 today's workshop is, of course, to take
13 stakeholder comment on the potential for the use
14 of feed-in tariffs to expand renewable energy
15 generation in California.

16 We will take today's comments and any
17 written comments as submitted in support of
18 today's testimony and use that information to help
19 us revise the Issues Options Report. And that
20 report will be considered at a second committee
21 workshop on September 3. There will be another
22 round of revision based on stakeholder comment
23 from the September 3 workshop. And we plan to
24 hold a third workshop in November and finalize the
25 report.

1 The findings from the report will be
2 used to help guide the 2009 Integrated Energy
3 Policy Report.

4 We'd hoped to have opening remarks from
5 Commissioner Karen Douglas but it appears that
6 Karen has been delayed. So I think --

7 ASSOCIATE MEMBER BYRON: That's all
8 right, you have another Commissioner here that
9 would like to make some remarks.

10 MR. LEAON: I appreciate that, thank you
11 very much.

12 ASSOCIATE MEMBER BYRON: Mr. Leaon, if
13 it's all right.

14 As Mr. Leaon indicated, this is a staff
15 workshop. Unfortunately, Commissioner Douglas is
16 delayed. However, I fully suspect she will show
17 up shortly and will make some remarks.

18 There's two committees that are really
19 very interested in this. Commissioner Douglas
20 chairs the Renewables Committee and I Chair the
21 Integrated Energy Policy Report. We are very
22 interested in this subject. And then, of course,
23 Chairman Pfannenstiel serves as the second member
24 on both of those committees.

25 I would like to just introduce, if I may

1 briefly, at the dais this morning is Tim Tutt from
2 Chairman Pfannenstiel's office. My advisor,
3 Kristy Chew. But most important of all,
4 representing the PUC, Commissioner Bohn's office
5 is represented here today by Steve St. Marie.

6 The purpose, as you have indicated, in
7 this workshop really stems from a number of
8 recommendations that were made in the '07 IEPR,
9 both short term and long term. And I know I am
10 interested, and I suspect other Commissioners here
11 at the Energy Commission as well are very keen on
12 getting the public input with regard to this
13 report and our recommendations.

14 We know that the Public Utilities
15 Commission is extremely interested in this topic
16 as well and there are some issues and concerns
17 that they have. I hope that they will be voiced
18 today. And Steve, I look forward to learning from
19 the Commission. Not necessarily you but from
20 other members of the Commission that are here
21 today, what those concerns are.

22 I will stop there and ask if Mr. Tutt or
23 Dr. St. Marie have any comments.

24 ADVISOR TUTT: I just would like to
25 welcome everybody to the workshop. I'm glad that

1 there's a lot of interest in this topic. You
2 raised this in the last couple of IEPRs. And I
3 wanted to suggest that we have a lot of interest
4 in exploring the topic.

5 There's been no decisions made about
6 directly going in this direction but we would like
7 to explore the topic based on the success that we
8 have seen in some of these feed-in tariff systems
9 in Europe and elsewhere. So I am pleased to see
10 the participation and interested in hearing the
11 comments, pro and con, from all sides. Thank you.

12 CPUC ADVISOR ST. MARIE: Thank you. We
13 at the CPUC are very interested in this topic. We
14 have worked with feed-in tariffs on a limited
15 basis for some time now and we intend to
16 participate fully in this project. Thank you very
17 much.

18 ASSOCIATE MEMBER BYRON: Good. Please
19 proceed.

20 MR. LEAON: All right. Thank you for
21 those opening remarks. Our first speaker is Anne
22 Gillette with the California Public Utilities
23 Commission. Anne is a analyst in the renewable
24 procurement and resource planning group at the
25 PUC. She works on long-term planning for

1 renewable resource and transmission infrastructure
2 and is the CPUC lead on the renewable energy
3 transmission initiative. Anne's presentation will
4 summarize the PUC's progress on implementing the
5 renewables portfolio standard program. Anne.

6 MS. GILLETTE: Thank you very much. I
7 am very pleased to be here representing the PUC
8 this morning. And the purpose of my presentation
9 is really just to give an overview on the RPS
10 program. How we're doing both in procurement and
11 product development. It will be fairly brief.

12 So in terms of procurement it appears
13 that the RPS procurement process is working. The
14 PUC has approved 95 contracts for almost 6,000
15 megawatts of new and existing RPS capacity.

16 Of those about 61 contracts are for new
17 capacity, totaling about 4,500 megawatts.

18 If all this approved capacity were to
19 come online by 2010 we would more than achieve our
20 goal of 20 percent renewable energy.

21 Another indication that the procurement
22 process is working is that the response to RPS
23 solicitations has been very large and increasing.

24 (Commissioner Douglas and Advisor
25 Bartholomy joined the workshop.)

1 MS. GILLETTE: The IOUs right now are
2 finalizing the short-slit from the 2008 RPS
3 solicitation. And it looks like they are going to
4 short-list about ten times their incremental
5 annual RPS procurement target. So we're seeing a
6 huge response and enough good bids that they will
7 continue negotiating with a huge amount of
8 renewable generation.

9 As most of you know the RPS procurement
10 process, as it is today, emphasizes competitive
11 solicitations that lead to long-term contracts.
12 And these long-term contracts are critical to
13 getting project financing, is in turn critical to
14 getting new steel in the ground.

15 This is just an indication, again, of
16 the increasing interest in the RPS program. We're
17 still working on compiling data from the 2008 RFO.
18 But you'll see the 2007 is a huge increase in
19 bids. Particularly the largest increase from
20 solar, both solar thermal and solar PV. But there
21 has been a wide range of different technologies
22 represented in our solicitations and in the
23 contracts that are subsequently signed.

24 Just another trend that we have noticed.
25 RPS bid prices have been increasing and there are

1 subtle factors that are contributing to this. One
2 is that construction costs for all sorts of
3 generation are increasing, both renewable and
4 fossil.

5 But we are also seeing a shift in the
6 resource mix. Again, going back to the previous
7 slide. You will see that the largest increase in
8 2007, and what we have also witnessed in 2008, is
9 from solar technologies.

10 And compared to most of the other
11 technologies, particularly wind, which we have
12 seen the most historically, solar has very high
13 installation costs. It's a capital intensive
14 technology. And so we're seeing higher prices on
15 solar compared to, compared to other technologies.
16 And because solar is taking up a larger percentage
17 of the response we are seeing an increase, in
18 general, in bid prices.

19 Another factor that is contributing is
20 that many of our prime resource items have just
21 been developed. There are several good sites in
22 California that we are still trying to tap with
23 new transmission. But the fact is that much of
24 the lowest-hanging fruit in California has already
25 been picked. California went out very early in

1 developing its renewables and so to some extent
2 we're kind of going up to the more expensive
3 resources at this point.

4 There is also concern that constrained
5 supply and policy-driven demand are driving up
6 costs. This is because we have created a very
7 large net-short. We have at this point in the
8 short-term a constrained supply of renewable
9 resources and that may be driving costs up.

10 So although procurement has been
11 working, the project development itself has been
12 slow. Only about 14 contracts for 400 megawatts
13 have come online since the program began in 2002-
14 2003. And to reach our goal of 20 percent in 2010
15 we need 3,000 megawatts online in the next two
16 years.

17 Overall, RPS generation also hasn't kept
18 pace with load growth. So you'll see this table
19 breaks out RPS-eligible gigawatt hours by utility
20 and then total, just for the IOUs. So this
21 doesn't include municipal utilities.

22 But the total on the bottom shows total
23 statewide RPS eligible gigawatt hours and then
24 those gigawatt hours represented as a percentage
25 of bundled retail sales. Which is how the RPS

1 progress is actually measured. And you will see
2 that overall we have actually decreased as a
3 percentage of sales since 2003. Every year we
4 have decreased. All of the numbers in red there
5 indicate a year-on-year decrease, either in
6 gigawatt hours or percentage terms.

7 Some of the low numbers in the past few
8 years have to do with dry hydro years. There is a
9 fair amount of small hydro that right now is part
10 of the RPS portfolio so some of the low numbers
11 recently have been due to that. But overall we
12 are just seeing difficulties in project
13 development of the new, the new contracts we have
14 approved.

15 So to try to understand what is causing
16 these delays in project development the CPUC staff
17 go through, project by project, all of the
18 contracts that we have approved for IOUs and we
19 look at what the risk, what risks those projects
20 are facing in two years and five years and ten
21 years and we evaluate what the chances are we
22 think they'll come online in the year they are
23 actually supposed to.

24 We have put all of these project-
25 specific risk ratings into an overall chart and so

1 this represents of the contracts that we have
2 approved, and some that are still under
3 negotiation, the risks that these projects are
4 facing to generation any given year. So a project
5 might, for example, be red or yellow because of
6 permitting difficulties in 2010 so it might show
7 up in the red or yellow stack here. But we might
8 think that by 2011-2012 those problems are going
9 to be worked out so it might fall into the green
10 category.

11 But you'll see -- We are not showing, we
12 are not projecting as of this point that we are
13 going to hit our 20 percent target in 2010. And
14 we'll talk now about what risks those are that are
15 causing these projects to be delayed.

16 So we've gone through, again, project by
17 project, all these contracts we've approved and
18 some that are still in negotiation, and identified
19 what specific risks the projects are facing.
20 Again, this is just 2010 generation. So this is a
21 percentage of the 2010 RPS generation.

22 A very large percentage are affected by
23 the PTC, the production tax credit and investment
24 tax credit. This is something, unfortunately, we
25 have very little control over. We can lobby in

1 the nation's capital to try to get these tax
2 credits extended but we have relatively little
3 control. Some contracts would actually be
4 cancelled if the PTC or the ITC isn't extended.
5 Some have a delay built into the contract where
6 they can delay until it is renewed. But it's
7 causing quite a bit of risk.

8 The next category, not a big surprise
9 again, is transmission. California's grid is
10 constrained. And as many of you know, renewable
11 resources are particularly constrained because
12 they are often located far from load centers and
13 areas where the grid isn't very robust. We have
14 quite a few initiatives now to try to address this
15 problem but it is, in the short term it is going
16 to be a barrier to getting more renewables online.

17 We then have a host of other sources of
18 risk including developer inexperience, difficulty
19 getting financing, difficulty getting site control
20 and various permits that are also creating risks
21 for our projects. It's important to note that a
22 project could have more than one source of risk so
23 these don't add up to 100 percent. A project
24 might be facing, might be at risk because of PTC
25 but also at risk because of financing or because

1 of transmission. So it could fall in more than
2 one category.

3 Now that we have identified these
4 barriers we are working to create multi-agency
5 solutions to the known 20 percent RPS barriers.

6 The PUC oversees RPS procurement so we
7 feel pretty confident that that process, as we
8 discussed before, is working.

9 Product development, on the other hand,
10 is the responsibility of a wide range of state
11 agencies and entities. So we're trying to work
12 with other agencies on addressing these problems.

13 In relation to transmission the PUC is
14 responsible for permitting new transmission lines.
15 So we have streamlined our permitting process.

16 We also initiated the Renewable Energy
17 Transmission Initiative, which we are working very
18 closely with the CEC, ISO and publicly-owned
19 utilities on.

20 And we are working closely with the ISO
21 on queue reform. The interconnection queue
22 process is a major source of delay at this point.

23 And site control. Site control and
24 permitting. We are in the early stages of trying
25 to address these barriers but we have begun

1 working with BLM and other relevant agencies to
2 share information where it's appropriate to help
3 them work through applications for leases, for
4 example.

5 And in permitting we're anticipating
6 working closely with the Energy Commission as more
7 solar/thermal facilities are going through the
8 permitting process. And again, sharing
9 information and just trying to smooth those
10 processes as much as possible.

11 So in terms of today's workshops we have
12 just teed up a few questions here. We think it is
13 important, given what we have talked about in
14 terms of procurement working and product
15 development and really being what we see as the
16 barrier today. We think it is important to try to
17 identify what is the problem that we are trying to
18 solve with the feed-in tariff.

19 Is it a problem with the procurement
20 process? With the project development process?
21 And how significant are these problems? And then
22 how would a feed-in tariff address these
23 particular problems.

24 And finally, what challenges associated
25 with implementation and administrative oversight

1 might a new feed-in tariff create? We know that
2 any new program takes quite a long time to get up
3 and running, to work out all the kinks. So we
4 need to think carefully about what sorts of new
5 challenges a feed-in tariff might create.

6 And could those challenges outweigh the
7 benefits of a feed-in tariff?

8 I am happy to take any questions at this
9 point.

10 MR. LEAON: Thank you very much, Anne.
11 I have one blue card. If we have questions for
12 Anne in the room if you could fill out the blue
13 card and bring those up that would be appreciated.
14 The one blue card I have is Gary Matteson.

15 MR. MATTESON: I defer until the KEMA
16 presentation.

17 MR. LEAON: Okay, all right.

18 ADVISOR TUTT: Mike, I have a couple of
19 questions, if I may.

20 MR. LEAON: Okay.

21 ADVISOR TUTT: Anne, thank you for
22 coming. Welcome to the Energy Commission. This
23 is an important topic. We're glad to have the PUC
24 here.

25 I had a question about your slide number

1 four where you indicated that many prime resource
2 sites have already been developed. Do you
3 differentiate that conclusion or that assertion by
4 resource type? And I think specifically I'm
5 thinking of solar/thermal where we know there's a
6 huge potential and there hasn't been a lot of
7 development. And there might be others that are
8 like that too.

9 MS. GILLETTE: Yes, I would entirely
10 agree with that. What we are mainly seeing, for
11 example, is in wind. We are seeing contracts
12 coming in where the prices are higher because the
13 capacity factor is lower. As I mentioned, there
14 are some specific areas like Tehachapi where we
15 think we are going to tap very good wind. But at
16 this point many of the contract we're seeing have
17 lower capacity factors and the prices are rising
18 because many of the best sites have just been
19 developed.

20 ADVISOR TUTT: So on the previous slide,
21 Anne, you had a big increase in wind as well
22 between '06 and '07. Is that where you are seeing
23 the increase or is it in the -- Are there '08
24 solicitations out there that you're seeing the
25 increases with as well?

1 MS. GILLETTE: Both, yes, yes.

2 ADVISOR TUTT: Okay, and the last
3 question. On the slide about expected generation
4 and risk, slide six. Just to have a better idea
5 of how you're looking at this. And I like the way
6 you have done this in your quarterly reports and
7 incorporating risk into the projection of RPS
8 energy. Where might the sterling contracts lie in
9 these band of risks? Is that feasible to say?

10 MS. GILLETTE: No.

11 (Laughter)

12 MS. GILLETTE: Developers and utilities
13 are understandably very nervous about our
14 supporting this sort of information. The last
15 thing that we want to do is say something about a
16 project that is then going to actually increase
17 its risk by reducing its chance of getting
18 financing, whether we say it is at risk because of
19 permitting or transmission or anything else. So
20 we only report these numbers on an aggregated
21 basis and we don't break it out by contract.

22 ADVISOR TUTT: Okay, thank you. I did
23 have one last question on the next slide, your
24 barrier slide. I may have missed it. Did you say
25 how you acquired this information?

1 MS. GILLETTE: I didn't mention that.
2 As a result of a PUC decision we get biannual
3 project status reports from the utilities on all
4 of their, all of the RPS contracts that we have
5 approved as well as some projects that are short-
6 listed. So we are constantly updating and
7 tweaking that spreadsheet so that we get very
8 detailed information that will allow us to do this
9 sort of analysis.

10 So we ask for, you know, specific
11 permits. You know, how far the projects are in
12 the permitting process. Exactly what substation
13 they are going to interconnect to and exactly what
14 upgrades they would need and exactly what permits
15 they would need for those upgrades. So we really
16 try to get a realistic view of their online date
17 as well as the sorts of risks that they're facing.

18 And then we also have just -- The PUC
19 has appointed three contract managers within the
20 RPS staff so we have one contract manager for each
21 utility. And they are in constant conversation
22 with the utilities about the status of the
23 projects. So we have those biannual reports and
24 just an open flow of information during the rest
25 of the year.

1 ADVISOR TUTT: Can you tell me whether
2 collaborative staff here has access to that
3 information.

4 MS. GILLETTE: I don't know that there
5 has been a request. Assuming the confidentiality
6 of the information would be protected I think it
7 could be shared. I don't know that that's been
8 discussed in the past.

9 ADVISOR TUTT: Thank you.

10 MS. GILLETTE: And there are -- There's
11 a public version of those reports that's filed to
12 the RPS service list but much of the confidential
13 information is redacted. Any confidential
14 information is redacted. But we could talk with
15 the Energy Commission about sharing that.

16 MR. LEAON: Okay. Before I ask for blue
17 cards are there any more questions from the dais?

18 Okay. All right, we do have a couple of
19 blue card questions for you, Anne.

20 MS. GILLETTE: Okay.

21 MR. LEAON: Carl -- I'm sorry, Zicheria?
22 I apologize if I butcher your last name there.

23 MR. ZICHELLA: Give it a shot, go ahead.

24 MR. LEAON: Zicheria.

25 MR. ZICHELLA: Zichella, thank you.

1 MR. LEAON: Zichella, okay.

2 MR. ZICHELLA: Before I begin, I see
3 Commissioner Douglas is here. Do you want to make
4 an opening, some remarks?

5 PRESIDING MEMBER DOUGLAS: No, please
6 continue.

7 MR. ZICHELLA: Great. Good morning,
8 Anne.

9 MS. GILLETTE: Good morning, Carl.

10 MR. ZICHELLA: On slide nine in your
11 presentation you have some key questions about
12 feed-in tariffs. I know that the Public Utilities
13 Commission has explored the idea somewhat. I
14 wonder if you could describe the program that the
15 PUC has already been trying to implement. And if
16 you have answered any of these questions for
17 yourselves, like if you have thought about these
18 questions with respect to your own program, if you
19 could give us some insights.

20 We know that in Europe feed-in tariff
21 programs have been very powerful, especially for
22 distributed generation. I was just wondering if
23 you could give us some insight into what the PUC
24 has learned in their efforts so far.

25 MS. GILLETTE: Okay. I assume the feed-

1 in tariff you are referring to is our small, the
2 one to one and a half megawatt feed-in tariff we
3 have. We agree that for small facilities there
4 are definitely transaction costs to participating
5 in the RPS solicitation process.

6 So we understand that for small
7 facilities, perhaps less than 20 megawatts, less
8 than 5 megawatts, whatever size, there can
9 definitely be a benefit to having some sort of
10 standard process so they don't have to develop a
11 full bid, participate in the large RPS
12 solicitation as a 100 megawatt facility would.

13 As far as a feed-in tariff for larger
14 than that. I understand this workshop is looking
15 specifically at over 20 megawatts. We really just
16 look forward to the conversation today.

17 We are not -- As discussed, we think
18 that the largest barrier that we are facing right
19 now is project development and so we are
20 specifically interested in how a feed-in tariff
21 might help address that problem since we do see
22 that as being the biggest challenge right now to
23 RPS procurement. But we are not experts on feed-
24 in tariffs and we look forward to the discussion
25 and to the panelists addressing these sorts of

1 questions throughout the afternoon.

2 MR. LEAON: All right, thank you, Anne.
3 One more blue card question from Mary Lynch. If
4 you could come up to the podium.

5 MS. LYNCH: Good morning. My question
6 is just a very quick factual question. And Anne,
7 it's whether you have had any updated on the
8 status of the PTC issue at the federal level and
9 whether it's looking to shape up? Is it looking
10 more like a risk or is it looking like it's
11 getting, moving towards resolution?

12 MS. GILLETTE: I unfortunately don't
13 have, don't have an update on that. As I
14 understand it's set to expire at the end of this
15 year. And we already have some projects that
16 might be exercising termination clauses soon this
17 year because they don't expect, they don't expect
18 to be able to come on line by the end of this
19 year, which would be required to get the credit.
20 But I don't know the latest status on legislation.

21 MS. LYNCH: On whether it's getting
22 extended or --

23 MS. GILLETTE: I know that some has been
24 proposed. I am not sure whether it's still in
25 committee.

1 MS. LYNCH: Okay, thank you.

2 MR. LEAON: Okay, let me check with
3 staff. Do we have any WebEx participants?

4 MR. FLESHMAN: We don't have any WebEx
5 questions. I can unmute the phone lines in case.

6 MR. LEAON: Okay. Before you unmute the
7 phone lines. For those of you that may be
8 participating over the phone please be sure to put
9 your phone on mute now and only unmute your phone
10 if you want to ask a question. So with that, Joe,
11 go ahead and unmute the phone lines and let's see
12 if we have anyone on the phone.

13 MR. LEAON: Okay, it sounds as if the
14 phones have been unmuted. Is there anyone on the
15 phone that would like to ask a question?

16 (No response)

17 MR. LEAON: Okay, hearing none I think
18 you're off the hook, Anne.

19 MS. GILLETTE: Thank you.

20 MR. LEAON: All right. Thank you very
21 much for your presentation.

22 Before we move to our next presenter I
23 would like to ask if Commissioner Douglas would
24 like to make any remarks.

25 PRESIDING MEMBER DOUGLAS: No, thank

1 you.

2 MR. LEAON: Okay, thank you. All right,
3 if we could put the phones back on mute. We'll
4 move to our next presentation.

5 And our next presenter is Wilson
6 Rickerson with Rickerson Energy Strategies.
7 Wilson is a Boston-based consultant focusing on
8 renewable energy policies and markets. His
9 current work includes research on comparative
10 renewable energy policy in the US and Europe,
11 including feed-in tariffs and incentives for
12 renewable heating and cooling. He holds a masters
13 in energy and environmental policy from the
14 University of Delaware.

15 Wilson's presentations will focus on
16 what constitutes a feed-in tariff and the past and
17 current use of feed-in tariffs in Europe and North
18 America. Wilson.

19 MR. RICKERSON: Thanks very much. Good
20 morning, everyone, it's great to be here. It's
21 been a very interesting 12, 24 months. I started
22 out back in Germany in 2001 working for the German
23 Wind Energy Association and feed-in tariffs were
24 very, very much on the radar but they had just
25 changed over to their new 2000 law and the market

1 was just starting to take off.

2 I came back to the United States in 2002
3 and no one had really even heard about feed-in
4 tariffs. Some people thought it had something to
5 do with agriculture and feeding animals. Because
6 it is a very, it's a pretty awful translation of
7 the German word, Stromeinspeisungsgesetz, which
8 means electricity feeding-in law. We have just
9 kind of kept that awkward translation as we've
10 gone along.

11 But as we will be going through today,
12 we will be kind of surveying what is going on in
13 Europe but also what is now happening in the
14 United States. In addition to California we have
15 seen about six states considering legislation,
16 about eight other states seriously talking about
17 legislation. And also as of Thursday there is now
18 a federal feed-in tariff bill.

19 But we are going to kick things off
20 today, right now I guess, with a survey of what
21 people have said out there, what some of the
22 opinions are, why we are here today of what makes
23 feed-in tariffs compelling, what they actually
24 are. The fact they are not a panacea, there are
25 design risks and limitations and where we could

1 trip up if we try to implement them. And then
2 we'll move also into definitions of what a feed-in
3 tariff is, where we are using it, et cetera, et
4 cetera.

5 Just as a little bit of background. As
6 most of you are probably aware in 2007 the IEPR
7 directed the Energy Commission, in collaboration
8 with the CPUC, to explore feed-in tariffs for
9 projects over 20 megawatts. With the explicit
10 goals of creating more -- Incorporating the value
11 of a more diverse renewable energy mix.

12 Also explicitly exploring the features
13 of successful European feed-in tariffs.

14 And ultimately preparing a white paper
15 on feed-in tariffs in 2008.

16 There is a paper out front which is kind
17 of a draft of issues and options I believe we'll
18 be working more on as we move through the year on
19 rounding out a more comprehensive feed-in tariff
20 white paper.

21 So what are some of the reasons we have
22 heard as we were doing our survey of why feed-in
23 tariffs could fit within the California context?
24 One of the reasons we discussed is because of the
25 various market barriers that we have seen in

1 different reports, be it the IEPR or other reports
2 from different stakeholders.

3 We just walked through many of them very
4 briefly. Permitting and siting. Contract
5 failure. Site control and financing. Lack of
6 transmission, as we mentioned with a lot of our
7 solar resources. Developer risk. The perceived
8 complexity of the RPS solicitation process. And
9 the suitability of the current solicitation
10 process for smaller projects. Are smaller
11 projects actually falling through the cracks of
12 our current RPS solicitations.

13 And also the problem of, if under a
14 competitive bidding situation, if you submit a bid
15 and over a period of months before you were
16 finally able to finalize your contract the costs
17 change, are you left with a contract that you can
18 no longer execute on. What happens when some of
19 those contracts become infeasible. So those are
20 current market barriers.

21 What, if anything, is a feed-in tariff?
22 There are a lot of different definitions and we
23 will be unpacking that definition over the course
24 of the day. And the paper out in the lobby also
25 does that as well. There is no one, set

1 definition. But in general it's a long-term,
2 either a contract or a payment, with a specified
3 term and a fixed price for eligible generation.
4 It's basically, if you build it, we'll buy it at
5 whatever price we specified and however we've
6 decided to structure that contract or that
7 payment.

8 Also it's a standing price schedule so
9 you know in advance what price you're going to get
10 to provide some certainty for developers.

11 And also, generally it's available to
12 all eligible generators from the interconnecting
13 utility in which they are actually building their
14 projects.

15 The key features of feed-in tariffs.
16 Number one, a guaranteed price. I know how much
17 money I'm going to get from day one.

18 Secondly, a guaranteed buyer. If you
19 know someone is going to buy it from you it
20 eliminates issues of market timing. It's
21 basically a standing contract where you're not
22 bidding for it, you can just enter into it.

23 It's a long-term, guaranteed revenue
24 stream, which obviously improves investor
25 confidence. We will be getting into that more,

1 into how that dynamic impacts risk premiums and
2 ultimately ratepayer impact.

3 Generally speaking it's unbound.
4 Especially in Europe it's kind of an open hunting
5 license. So you build a project, no matter how
6 big, no matter where, you get that tariff and
7 there's no cap on how much energy or electricity
8 they will ultimately accept into the feed-in
9 tariff program.

10 Because it's a standard offer there are
11 comparatively low transaction costs.

12 Also comparatively low administrative
13 complexity. There aren't any tendering RFPs, et
14 cetera, et cetera to deal with.

15 Also the reason that they're called --
16 and sometimes you lose sight of this. But again,
17 referring back to that awkward German word. The
18 key to it is feeding-in. And that's because the
19 feed-in tariffs, one of the main emphases was on
20 guaranteed interconnection. If you build a
21 project you can definitely feed your electricity
22 into the grid. And we since layered on top of
23 that a lot of things like guaranteed price, long-
24 term contracting, et cetera, et cetera. But the
25 kernel of feed-in tariff is guaranteed

1 interconnection.

2 And finally. Again this gets into the
3 design criteria, which we will explore in much
4 greater detail later. It can be differentiated by
5 technology. So, for example, some feed-in tariffs
6 are structured to make each technology type
7 profitable. So PV would get a specific feed-in
8 tariff designed to make it profitable, wind and so
9 on and so forth.

10 Or there are other ways you can
11 differentiate feed-in tariffs to target specific
12 resources by type, by size, by resource quality,
13 by vintage, how old they are, and by ownership
14 structure, be it community-owned or not community-
15 owned. And again, we'll be unpacking those in
16 just a little while.

17 Of course feed-in tariffs, while we
18 think they -- Many people think they're great. We
19 have heard a lot of folks advocating for them,
20 especially in the last 24 months in the United
21 States. They do have their limitations. They are
22 not a fix for everything.

23 A lot of these problems, on this slide
24 anyway, are interrelated. The fact is, if you
25 open up a standard offer contract you are not sure

1 how much power, how much capacity is going to
2 drive through that contract. And so you have an
3 unknown policy cost overall because you have an
4 unknown quantity. In Europe they have targets for
5 their feed-in tariffs. You know, ten percent by
6 2010 let's say. But if you break through that ten
7 percent target that's just fine, keep going. It's
8 more of a target than a limitation.

9 Another issue is, you know, depending on
10 what kind of market structure you have that raises
11 some considerations we'll get into later. Who is
12 a reasonable buyer for the electricity?
13 Especially under an unlimited, open-ended,
14 standard offer.

15 There's always the risk that we hear
16 repeatedly raised of overpaying and underpaying.
17 If you are making a political determination about
18 a price how do you know you've got that right.

19 Similarly related to that is that can
20 either overstimulate or understimulate the market
21 depending where you put that price point.

22 And obviously, just setting an open-
23 ended tariff doesn't solve underlying issues
24 related to transmission, and oftentimes permitting
25 and siting. And we have actually seen that play

1 out in Europe. If you haven't solved those two
2 issues a feed-in tariff really doesn't go very
3 far.

4 A few of the design risks. If you set a
5 price is it going to be able to react to the
6 market. You can build a feed-in tariff that
7 doesn't change ever. And as a result, if market
8 prices fluctuate up and down, if there are market
9 efficiencies and you have an unresponsive tariff
10 rate, then you could have a problem. Especially
11 with ratepayer impacts.

12 You could have the unintended
13 consequence of favoring less-efficient plants. I
14 say that because it's unintended. Because in some
15 European markets they structure their feed-in
16 tariffs specifically to target less-efficient
17 plants.

18 In Germany they have got wind up on the
19 coasts. Not to the south. They want wind
20 throughout the country. So they have actually got
21 feed-in tariffs favoring feed-in tariffs in less
22 windy resources in order to get greater geographic
23 distribution. To some folks in the United States
24 that sounds like a perverse way to do things but
25 in fact that's one of the cores of their policy

1 making.

2 You could also have unequal cost
3 allocation. We have definitely seen that in
4 Europe. You would have to repair that if you
5 don't have a good, competitively neutral cost
6 redistribution scheme.

7 And finally, if you do have a cap for
8 your feed-in tariff, as you have seen a lot of
9 other capped programs that are very attractive.
10 You could have speculative queuing. Which means,
11 I'll put in a project that I may or may not think
12 will actually work at this price just so I can
13 reserve my place in line. And again we'll get to
14 that later.

15 But on the other side. Feed-in tariffs
16 might. The great ideal. Why do we care about
17 them? What might they do? Again, not necessarily
18 but what might and why do we find them compelling?

19 First, they can reduce risk. In fact,
20 in Europe they have reduced a lot of risk and
21 we'll get to some EU analyses of how that's played
22 out in terms of costs. Without necessarily
23 increasing ratepayer costs. Especially when
24 you're dealing with near-market resources and
25 standard offer contracts. And that's especially

1 relative to a viable cost benchmark, i.e. projects
2 that are going to work. Not necessarily to the
3 cost benchmark of projects that might have been
4 speculatively bid and probably did fail.

5 Also you can reduce developer costs by
6 -- Actually, by reducing developer risk you can
7 also reduce developer costs. And of course
8 reducing the complexity of the entire process in
9 general. That lowers -- Giving someone let's say
10 a 20 year fixed-price contract they can count on.
11 That reduces the cost of capital they might get
12 from their financiers, which also reduces
13 transaction contracting costs and security
14 requirements potentially.

15 Along with that, as we mentioned
16 earlier, it could reduce utility, CPUC and CEC
17 administrative costs and burden. Especially if
18 you've got a standard offer contract. You can
19 just kind of -- You can open up and let go.

20 It also can, depending on how its
21 structured, provide a viable market for smaller
22 projects or for certain technology types that
23 might otherwise fall through the cracks from the
24 larger solicitations. And I do understand that
25 today the general focus is on above 20 megawatts.

1 But there's probably going to be an opportunity to
2 talk about a broad range of things here at today's
3 forum.

4 Feed-in tariffs might, part two. A few
5 of the things we've heard is that, again, by
6 reducing risk there's a possibility to reduce the
7 potential for RPS contracts to become infeasible
8 while permitting and siting or transmission issues
9 are being resolved.

10 If you've got a project with a 20 year
11 guarantee, perhaps your cost of capital and your
12 financing is going to come down. That gives you a
13 little bit more headroom to absorb things during
14 the project development process like changing
15 material costs, changing energy prices, et cetera,
16 et cetera.

17 And that also increase the willingness
18 of developers to invest in other things like
19 siting and permitting. So although feed-in
20 tariffs may not have a direct impact on every
21 single -- on things like siting and permitting,
22 they could have at least indirect benefit.

23 So why should, why could California
24 consider feed-in tariffs. This is, again, a
25 survey of opinions that we have seen during the

1 past several months. We have been leafing through
2 different regulatory proceedings going back to
3 2006 and before. There's certainly different
4 perspectives on this, obviously.

5 But number one, the state may or may not
6 be on track to meet its RPS requirements by 2010.

7 And also the 33 percent by 2020 goal may
8 be problematic if markets can't be nudged to move
9 faster.

10 Another compelling issue, why do we care
11 about this? Feed-in tariffs, frankly, have driven
12 very, very expansion of renewable markets in other
13 countries. I think the question for today moving
14 forward is, is how they've driven it useful or
15 worthy of being copied over here.

16 Another interesting wrinkle was that the
17 current MPR pay actually set a price floor above
18 the cost that some renewables can be profitably
19 developed. So let's say you've got a standard
20 offer that were below the MPR. That might give
21 some developers a certainty to develop projects
22 they might otherwise just say, okay, well the MPR
23 is a nice price floor, I'll just use that instead.

24 As we also mentioned before, feed-in
25 tariffs may actually help reduce the contract

1 failure rate.

2 And they can also be used to facilitate
3 renewable projects in areas with new transmission
4 once the transmission gets built.

5 Another reason we have seen talk about
6 feed-in tariffs here in California is because we
7 have already been experimenting with them here to
8 some degree.

9 As we heard from our colleague from the
10 CPUC, there was both AB 1969 in 2006 that
11 established up to 1.5 megawatt standard offer
12 contracts for renewables sited at wastewater and
13 water facilities.

14 These are priced at the MPR. But it's a
15 time of value MPR, which we'll be discussing in a
16 little bit.

17 And that particular bill had a cap of
18 250 megawatts statewide.

19 In 2007 the CPUC ordered an expansion of
20 that cap to 478.4 megawatts of renewables
21 statewide. Again priced at the MPR. And expanded
22 it just from wastewater and water facilities to
23 all renewable customers.

24 And the CPUC is currently soliciting
25 comments on expanding that feed-in tariff beyond

1 SCE and PG&E where it's currently limited. And
2 expand the project cap up to 20 megawatts from 1.5
3 megawatts.

4 As we'll talk about later, we have seen
5 similar legislation proposed in the California
6 Legislature to also expand and broaden that
7 particular set, the current feed-in tariff
8 regulation.

9 And also through the end of this year
10 SCE has a standard contract available for biogas
11 and biomass generators under 20 megawatts, priced
12 at the 2006 MPR.

13 So in general we have seen several
14 different policies already on the table here in
15 California in the last two years that tend to be
16 technology-neutral and based on MPR, but falling
17 under the rubric of feed-in tariff. And we'll try
18 to discuss -- we'll be discussing how that feed-in
19 tariff compares to others that are out there.

20 So switching over from the contacts and
21 survey opinion that we have encountered during the
22 past couple of months to what's actually happening
23 out there, both abroad and here in the United
24 States.

25 Internationally, according to the REN 21

1 survey of Global Renewable Energy Policy, feed-in
2 tariffs of some form or another are the most
3 globally prevalent, renewable energy policy at the
4 national level. We certainly have seen a heavy
5 penetration of feed-in tariffs in Europe.

6 In North America we have seen variations
7 in both Ontario and Prince Edward Island.

8 And then feed-in tariffs have also moved
9 markets relatively rapidly in both Brazil and
10 South Korea.

11 Just looking at -- We always show RPS
12 maps. And I will be showing some RPS maps by the
13 way, so look out. We always show RPS here in the
14 United States. And this is kind of a map of
15 European policy. The dark gray states --
16 countries are those that actually have some form
17 of feed-in tariff currently in place. There are
18 18, or the large majority of the EU member
19 nations.

20 Those in gray have some form of tradable
21 green certificate program. And there's been a big
22 fight over in Europe between long-term contracting
23 and tradable green credits.

24 Then a few other states have different
25 variations of hybrids and tax incentives.

1 But generally speaking, feed-in tariffs
2 dominate in Europe.

3 In 2001 the European Union said, okay,
4 every country needs to -- here is your target.
5 You get to choose which mechanism you want to get
6 to that target. And in 2005 we are going to
7 analyze and see which one actually worked. And
8 we're going to try to harmonize across the board
9 and say, okay, that was the best so we're going to
10 use it.

11 The majority of the EU countries
12 actually chose some form of feed-in tariff.

13 And the three most successful that are
14 out there have been Denmark, Spain and Germany.
15 But again, as we are walking through today step by
16 step, although we call these things feed-in
17 tariffs, all three of them are distinctly
18 different. They use different mechanisms. And
19 the devil will ultimately be in the design details
20 for California.

21 Starting off with Denmark. Here we go.
22 So Denmark actually -- its market has cooled off
23 to some degree. But back in the early '90s it
24 established a feed-in tariff pegged at retail. So
25 it's 85 percent of the retail rate. And it was

1 technology neutral and open to all generators.
2 that drove Denmark to a market-leading position in
3 wind energy back in the '90s.

4 But then they attempted to switch to a
5 tradable credit system in 2000. Their market
6 collapsed. As you can see their wind has kind of
7 bounced along a little bit and flatlined in 2003,
8 2004, 2005. And they have yet to recover.

9 But they did actually set a mean pace
10 early in Europe that some kind of standardized
11 contract could work to drive markets. And they're
12 currently up to, I think, 20 percent wind
13 penetration in Denmark on a normal day. And much,
14 much, much higher when the wind blows hard.

15 Spain took a different approach. They
16 instead of setting a long-term standard contract
17 for a fixed price, they have got a fixed premium
18 or an adder. Kind of like the PTC but not tax-
19 based. It's actually cash-based that floats on
20 top of the spot market.

21 That adder is again -- Unlike the Danish
22 feed-in tariff, which is technology neutral, this
23 one is technology specific. So every single
24 technology got its own adder. Small hydro got
25 about two cents, solar-thermal electric got about

1 30 cents riding on top of the spot power.

2 They also, in addition to that, market
3 with an adder on top. Like my PowerPoint image
4 there. In addition to having this they also have
5 a separate feed-in tariff that you can switch to,
6 which kind of serves as a price for that market.
7 So if your spot market power plus adder sinks too
8 low you can jump to the separate feed-in tariff.
9 But so far no one has opted to use that because
10 electricity prices have been going high.

11 Wind and PV markets, as most folks are
12 aware, have experienced extremely rapid growth in
13 Spain.

14 And some in Europe have also argued that
15 that form of having an adder on top of the
16 wholesale prices market is more compatible with
17 the electricity market because it sends market
18 signals to generators.

19 On the other hand, prices have tended to
20 go up and up and up in Spain so they have kind of
21 foregone the option of using a feed-in tariff as a
22 hedge. Under some fixed price feed-in tariffs, if
23 you set a 20 year contract and someone jumps on
24 that and electricity prices go much, much higher,
25 and you're locked into that rate for 20 years and

1 when you've got an adder on top of wholesale
2 prices, that probably is not going to happen.

3 So the premium approach with the adder
4 does put the potential hedge benefit at risk, even
5 if does have some market based options built into
6 it.

7 Germany is the third option we'll walk
8 through. I'm sorry, the third country we'll do a
9 quick overview of. Like Denmark, they started out
10 with a retail peg in the 1990s and experienced
11 extremely rapid wind growth.

12 But then retail prices sagged. The
13 market sagged with it. And they switched to the
14 now-famous German feed-in tariff where they set
15 prices for each and every individual technology
16 based on what that technology would need to be
17 profitable, for 20 years.

18 And also as I mentioned earlier, they
19 also included something whereby Germany, a
20 relatively windless country. You've got a higher
21 feed-in tariff rate for a longer period of time if
22 your wind project was in worst wind resource. As
23 a result they now have something like 20,000
24 megawatts or more of wind power in the United
25 States. I'm sorry, in Germany. Which is much

1 more than the United States.

2 Then in 2004 after extremely rapid
3 market growth they amended the feed-in tariff once
4 again to even further stratify technology. so
5 instead of having a PV feed-in tariff they have
6 one for small PV, middle-size PV, BI PV, field-
7 mounted PV. And they got more and more specific
8 and then blew up a lot more of their markets in
9 different ways. Now they are the world's largest
10 PV and wind energy market.

11 And also their biogas market recently
12 has exploded. It doubled since their 2004 feed-in
13 tariff revision, doubled in the past three years.
14 And nationally anyway, Germany's electricity has
15 increased from about 6.5 percent in the early
16 2000s to about 14 percent in 2007.

17 Their EU target was 12.5 percent in
18 2010. So they are already above their target by a
19 long shot, three years ahead of schedule.

20 Also interesting to note. According to
21 a German federal analysis, they have actually
22 saved money on their feed-in tariff. As you can
23 see the costs above. There's an incremental
24 policy cost of the feed-in tariff and things like
25 the extra electricity that they had to balance the

1 incremental resources. And also the transaction
2 costs and the administrative costs of the feed-in
3 tariff were about 3.3 billion in 2006.

4 However, they have a competitive market
5 and their spot market prices have been fairly, A,
6 volatile, and B, high. And because their feed-in
7 tariff resources move through on a month-ahead
8 schedule, large tranches of renewable energy
9 resources moved into the market and significantly
10 cooled spot market prices for an estimated savings
11 of about 5 billion dollars (sic).

12 In addition to the import savings of
13 about a billion. And then the mitigation of
14 external costs of about 3.4 billion. So for total
15 savings, about 9.3 billion, versus the total cost
16 of about 3 billion.

17 Are there implications in that for the
18 US market? maybe, maybe not. Also, will this
19 continue to happen? Also maybe, maybe not. But
20 still a very interesting analysis to consider.

21 Europe. We mentioned earlier that the
22 EU in 2005 decided to analyze where costs, where
23 different policy costs are. Very briefly. We've
24 got a bunch of red dots and blue bars up on the
25 screen. The red dots -- and different countries

1 across the bottom.

2 The red dots are what people actually
3 got paid. The blue bars is what they needed to
4 get paid. In some countries they got paid more
5 than they needed. In some countries they got paid
6 right about what they needed.

7 And what surprised people and what
8 surprised the EU is that the countries that have
9 tradable credit regimes, like the UK and Italy and
10 Belgium, are the ones with the dots above the
11 bars. In other words, tradable credits were
12 trading well above what developers needed to be
13 profitable.

14 And the reason for that, according to
15 the EU, was risk. Because basically investors
16 looked at a 20 year variable stream of revenue and
17 they said, that's pretty risky. Therefore my
18 interest rates are going to be higher, project
19 costs are going to be higher, and in general the
20 market is going to trade higher than it would
21 otherwise.

22 On the other side, in countries where
23 they actually politically set the prices,
24 generally speaking, the red dots are within the
25 bounds of reason within the blue bars. Which led

1 the EU to conclude, as you can see across the top,
2 that feed-in tariffs generally achieve larger
3 deployment at lower costs than policies that have
4 more inherent risk in them. I guess it's one
5 thing you could say.

6 All right. So does that again -- What's
7 that, Bob? Keep moving? I'm going to keep
8 moving. So is the European experience relevant in
9 the United States? They have enjoyed rapid market
10 growth.

11 Their policy is not necessarily
12 inherently superior to ours in that there are
13 different market conditions. you can have poorly
14 built feed-in tariffs, you can have well-built
15 feed-in tariffs. And also superiority is
16 ultimately based on policy objectives. And that
17 will be part of the process today is to find what
18 those are.

19 In general, however, unlike in Europe,
20 it is not necessarily a head-to-head clash of RPS
21 versus feed-in tariffs. you can use feed-in
22 tariffs to meet RPS goals. And ultimately, the
23 devils is in the design details.

24 Moving now to a rapid review of feed-in
25 tariffs in North America.

1 Most of you are aware that Canada had
2 one. They still have one but as of May 2008 they
3 actually limited it back to under 10 kilowatt
4 systems. Because, frankly, market growth was a
5 bit too fast for some folks up there. But they
6 didn't have PV at 42 cents a kilowatt hour and
7 wind at 11 cents per kilowatt hour.

8 Prince Edward Island has seen a much
9 smaller feed-in tariff. About 5.75 cents per
10 kilowatt hour, technology neutral. It's had a few
11 things in there but not quite as much as Ontario.

12 But in general we haven't directly
13 referenced those two states, those two provinces
14 in our policy-making experience here in the US.

15 In the US we live in the shadow, to some
16 degree, of PURPA for better or for worse. Most of
17 you remember the Standard Offer Number 4 here in
18 California and also New York State's Six Cent
19 Rule. These were long-term standard offer
20 contracts based on definitions of avoided costs.
21 In the case of Standard Offer number 4 it was
22 based on projected future oil prices. So that was
23 then.

24 Now we generally haven't seen PURPA-like
25 mechanisms in the United States for about 20

1 years. We have seen a broad proliferation of
2 different state policies with different state
3 policy mechanisms.

4 Here is the current patchwork across the
5 United States. Twenty-six states with some type
6 of policy objective. We generally call them RPS.
7 Another six states with voluntary goals. But this
8 process has been -- A, occurred very rapidly, and
9 it has been iterative. We have seen a lot of
10 change in these goals. It's hard to say, here is
11 one definition that catches what RPS means in the
12 United States.

13 Over the past 24 months we have seen 19
14 states either introduce new legislation entirely
15 for RPS or significantly expand and alter their
16 RPS legislation. We started out with tradable,
17 renewable credit regimes in the Northeast and
18 Texas. As we progressed west across the country
19 you have seen different types of mechanisms.

20 And with this new round of changes, if
21 you have all seen the LBNL report that came out
22 recently an RPS review, there are two trends, two
23 distinct trends in where RPS policy making seems
24 to be going.

25 Number one, technology differentiation.

1 We started out with New Jersey saying, we want a
2 PV tier. And then North Carolina said, we want a
3 PV tier, a hog waste tier and a chicken waste
4 tier. And now New Mexico has a tier for
5 everything. That starts to look a bit more like
6 feed-in tariff design choices when you're making
7 specific choices about specific technologies.

8 Secondly, we've seen a trend towards
9 long-term contracting or these other mechanisms to
10 take some of the volatility out of tradable credit
11 regime markets.

12 Again, if you're starting to
13 differentiate by technology, and you're starting
14 to try to take some of the volatility out of the
15 markets, is there some -- Do you start to see best
16 practices that you can look over to Europe for to
17 then apply in the United States.

18 Which then brings us to this slide which
19 is current states in the United States having
20 either past introduced or are considering feed-in
21 tariffs. As you can see almost every single one
22 of these with the exception of Florida and
23 Michigan are in states that already have some kind
24 of renewable target.

25 So it's not -- I just point that out

1 because they are not necessarily at odds. These
2 are states looking not necessarily to address
3 problems with their current policy-making but to
4 say, how can we supplement current policy making
5 and achieve some discrete policy objectives that
6 may not be already captured in our other RPS.

7 What are some of these. Michigan,
8 Illinois, Rhode Island and Minnesota have all
9 introduced bills very similar to the European
10 philosophy of lay out technology-specific prices
11 for PV, for wind, et cetera, over 20 years.

12 The contracts tend to range between 8
13 cents and 14 cents for most near-market resources
14 and about 48 cents to 71 cents for PV. The
15 principal innovation among these that sets one
16 apart from the other is that Minnesota has almost
17 the exact same law as the other states or proposed
18 legislation, that means it passed. But it has to
19 be community-owned in Minnesota.

20 In Hawaii we have seen four separate
21 bills that include 20 year contracts for PV. They
22 range from 45 cents in one bill to 70 cents in
23 another bill. Different in that 100 percent of
24 the electricity being fed into the grid, like in
25 the Michigan model. In Hawaii this is kind of net

1 metering on steroids. You get that rate for the
2 excess you feed into the grid.

3 Of course we have seen them in
4 California. I thought this was interesting. I'll
5 just quote briefly from the CSI proceedings where
6 PG&E said that it:

7 "-- supports consideration of
8 a feed-in tariff as a potential
9 solution to the current tension
10 surrounding -- various subsidies
11 supporting solar generation -- The
12 various incentives including the
13 CSI and net metering could be
14 combined into a single incentive
15 structure that declines over time."

16 So since even the CSI proceedings we have had talk
17 of some kind of feed-in tariff in California.

18 We have seen that progress a little
19 farther with AB 1969. The 2007 IEPR.

20 But then looking beyond what we've
21 currently got in front of us. In the Legislature
22 we have seen bills that would amend the current
23 CPUC feed-in tariff. We have seen -- We have seen
24 one that actually tried to set prices but was then
25 amended to not said prices and said, defer that

1 process to the Commissions.

2 And finally SB 1807 would actually
3 require the CPUC to set prices based on generation
4 costs rather than being technology neutral.

5 So we have seen and are seeing the
6 continuation of a lot of feed-in tariff talk in
7 California, both in the Commissions and the
8 Legislature.

9 In terms of who is doing what kind of
10 analysis in the United States. Not much has
11 actually been done. The only one thus far is in
12 New Jersey where they were trying to find a way to
13 transition from rebates for solar to some kind of
14 performance-based mechanism.

15 And this is, very briefly, it's a good
16 beach read. About 100 pages of report about
17 different models that are out there. They
18 concluded that the 15 year tariff model in New
19 Jersey would have the lowest ratepayer impact of
20 all the models they looked at. Again, just as in
21 Europe, in a parallel analysis to Europe because
22 of the risk premiums inherent with tradable
23 credits. But so far that's been about the only
24 one.

25 Some preliminary things have been done

1 for Rhode Island which are very interesting but
2 they haven't yet been published.

3 Also as of Thursday we now have a
4 federal feed-in tariff that's been introduced.
5 This was introduced by Congressman Jay Inslee, co-
6 sponsored by Congressman Delahunt and others. It
7 would establish, A, again back to the original
8 definition of feed-in tariffs, standardized
9 interconnection across the United States for
10 renewable energy facilities below 20 megawatts.

11 Twenty-year fixed-price contracts.

12 Uniform national rates for different
13 technologies, differentiated by technology and
14 facility size.

15 Just as we have seen in Europe there
16 would be a national cost redistribution mechanism
17 but it would actually be based regionally. So you
18 wouldn't have the Southeast worried that there
19 would be a large wealth transfer to other parts of
20 the country. And that would be managed through a
21 FERC-overseen public/private organization called
22 the RenewCorps.

23 So that's out there. It would be
24 interesting to track and see where that flag, now
25 planted, actually gets moved to.

1 I think that's about it. Thanks very
2 much for your attention and I'm sorry if I'm over
3 time.

4 MR. LEAON: No problem. Thank you, very
5 much, Wilson, for that very thorough analysis. I
6 see we have staff in the back of the room, if you
7 could help expedite the blue card process by
8 handing out and collecting blue cards that would
9 be very helpful. And while that process is going
10 on let me ask if we have questions from the dais.

11 ASSOCIATE MEMBER BYRON: First of all,
12 thanks for the explanation of the German origin of
13 the feed-in tariff, that was very helpful.

14 An excellent presentation. A lot of
15 great information here. And don't worry about
16 going over.

17 MR. RICKERSON: Thank you.

18 ASSOCIATE MEMBER BYRON: I think this is
19 exactly the kind of information we are looking
20 for. Are you familiar with the solicitation
21 process and how we procure renewables here in the
22 state of California?

23 MR. RICKERSON: I would say yes,
24 tentatively. I am certainly not as familiar as
25 some of the other stakeholders in the room.

1 ASSOCIATE MEMBER BYRON: Sure. But
2 given your experience and knowledge of how all the
3 other countries have been doing feed-in tariffs
4 would you care to comment on that procurement
5 process and does it affect what we are trying to
6 do here?

7 MR. RICKERSON: Would you mind
8 clarifying the question.

9 ASSOCIATE MEMBER BYRON: Sure. If you
10 are familiar with our procurement process.

11 MR. RICKERSON: Yes.

12 ASSOCIATE MEMBER BYRON: The way it's
13 done with each of the utilities through
14 procurement review groups and non-disclosure
15 agreements and confidential information. Does
16 that affect our ability to do -- to have an
17 effective feed-in tariff?

18 MR. RICKERSON: As in, if we preserve
19 the current procurement process could we also have
20 an effective feed-in tariff?

21 ASSOCIATE MEMBER BYRON: Yes.

22 MR. RICKERSON: I think that's part of
23 what we'll be getting into today. I think it
24 ultimately goes back a lot, again, to your policy
25 objectives. And we are kind of walking through

1 the different, the 15 or 16 or so different design
2 choices that you could make.

3 There are a lot of -- There are some
4 very, very fundamental differences between the
5 European and what is currently in place in
6 California. I think it would be a bit early for
7 me to say, well of course you could do X, Y, Z in
8 California without having spent the day listening.

9 So other things have been moving very,
10 very quickly over there and there isn't a central
11 procurement process necessarily in terms of, you
12 know, bidding and tendering. There is just a
13 general standard, an open-ended standard offer
14 contract and they have let the markets just go.

15 ASSOCIATE MEMBER BYRON: Okay. Thank
16 you.

17 MR. LEAON: Any other questions from the
18 dais?

19 ADVISOR TUTT: Sure. If I could follow
20 up on that line of questioning for a little bit.
21 If you look at the Nicholas Stern results in your
22 presentation.

23 MR. RICKERSON: Yes.

24 ADVISOR TUTT: The description there was
25 that the dots that are above the blue ranges of

1 cost were due to risk involved in those markets or
2 those countries which were depending primarily on
3 REC markets.

4 MR. RICKERSON: Correct.

5 ADVISOR TUTT: In California, of course,
6 we have primarily long-term contracts for
7 renewables. That seems to take out some of that
8 risk. Would you comment on that.

9 MR. RICKERSON: Sure. I think that's
10 actually an earlier, it's an earlier dialogue that
11 the Europeans had. If I'm looking over to
12 European experience. Before they had this
13 knockdown, drag-out fight between tradable credits
14 and feed-in tariffs they had one between tendering
15 and bidding and feed-in tariffs. And generally
16 countries like the UK and Ireland and France and a
17 few others that had, previously had tendering,
18 ultimately abandoned those systems as being less
19 effective in comparison.

20 But whether that is easily transferrable
21 over here. I think -- That those lessons are
22 easily transferrable over here I think remains to
23 be seen. There are a lot of differences between
24 how the Europeans did their tendering and how
25 California has been doing theirs.

1 Generally speaking, though, I think that
2 long-term contracts probably have less risk than
3 some kind of tradable revenue stream -- tradable
4 credit stream, no matter which way you cut it.

5 ADVISOR TUTT: You described feed-in
6 tariffs as having an unknown cost because it was
7 an unknown quantity of resources that might sign
8 up.

9 MR. RICKERSON: Right.

10 ADVISOR TUTT: So specifically how in
11 your mind would that square with California's law
12 requirement that utilities achieve 20 percent by
13 2010 and the goal of 33 percent? I know that
14 European countries have that target.

15 MR. RICKERSON: Sure.

16 ADVISOR TUTT: Or targets as well. But
17 if there is an unknown quantity how can we be
18 assured our targets are met?

19 MR. RICKERSON: I think it is a matter
20 of how you ultimately define those targets. If
21 they are aspirational targets and you get there
22 when you get there and if you even exceed them to
23 a slight degree and that's great, then I think
24 that's a policy choice you make.

25 If you then introduce a cap that has an

1 implicit hard stop to it, then that obviously has
2 implications for the market. You get into queuing
3 and things like that.

4 In a way Europe looks a lot like the
5 United States in terms of there are a lot of
6 countries, just like we have a lot of states. The
7 Europeans might cringe to hear me say that so I'm
8 not on record.

9 (Laughter)

10 MR. RICKERSON: But in the sense that
11 they all have, you know, certain percentage by a
12 certain date targets over there. We've got
13 certain percent by certain targets -- certain
14 percent by certain dates over here. We have a lot
15 of different mechanisms to get there.

16 Some of their targets have implicit hard
17 stops in them and some of them like Germany, hey,
18 if we blow through great. The Germans just said,
19 now that they have moved so quickly on their
20 original EU-set target they have set 25 percent
21 targets by 2020 and 45 percent targets by 2030.

22 ADVISOR TUTT: One last question, if I
23 may. You talked about the potential for RPS
24 contracts to become infeasible while permitting
25 and siting or transmission issues were being

1 resolved. And I guess I'm wondering how that fits
2 with feed-in tariffs. I mean, if you have a feed-
3 in tariff system in place the project developer
4 still potentially has permitting, siting and
5 transmissions issues. They might start working on
6 those and by the time they get to where they are
7 eligible for a feed-in tariff they realize their
8 cost structure doesn't work anymore. Is that
9 true?

10 MR. RICKERSON: I guess I should walk
11 through a bit more step-by-step than I did. I
12 think I might have rushed that part during my
13 presentation. I don't think the feed-in tariffs
14 address transmission planning on the siting side.
15 The point was, and KEMA team, feel free to correct
16 me here if I'm wrong. But that the developer
17 making the choice to take on those siting,
18 permitting risks because they have got, because
19 automatically the feed-in tariff makes the entire
20 proposition lower risk and allows them a bit more
21 headroom to absorb increased costs of permitting,
22 siting, other things as the project moves forward.
23 Is that accurate?

24 ADVISOR TUTT: Wouldn't the long-term
25 contract also do that for them or not?

1 MR. RICKERSON: I think depending on how
2 the long-term contract is set up. If it's a
3 standard offer contract versus a contract where
4 there is risk involved with the bidding and there
5 are incentives to potentially speculatively bid
6 the price in a certain way. It might not be.
7 Let's see them side by side and how it would
8 pencil out with feed-in tariffs. You would be
9 able to know what you're going to get and there's
10 less risk and less cost, in theory.

11 ADVISOR TUTT: Thank you.

12 MR. LEAON: Any other questions from the
13 dais?

14 CPUC ADVISOR ST. MARIE: Thank you for
15 that very good presentation. When you say on
16 slide number eight that a feed-in tariff might in
17 the ideal reduce risk without increasing ratepayer
18 cost. And I just numbered it on our paper, we
19 don't see the numbers over here. It is: But Feed-
20 In Tariffs Might number one. Yes, you've got it
21 up. Which risk are you talking about there? Is
22 that the ultimate risk to retail ratepayers? Is
23 that risk to the agencies that sell that power,
24 that is the wholesale suppliers?

25 MR. RICKERSON: I think this is

1 specifically referring to developer risk.

2 CPUC ADVISOR ST. MARIE: Developer risk.

3 MR. RICKERSON: So you are reducing
4 developer risk. I think this generally refers to
5 near-market resources.

6 CPUC ADVISOR ST. MARIE: Okay.

7 MR. RICKERSON: I think it's a different
8 proposition when you start talking about emerging
9 resources, where if you are actually going to set
10 a technology-differentiated rate targeting, you
11 know, profitability for that resource it might
12 change.

13 But in some of the modeling I have seen
14 in some parts of the country, if you've got a 20
15 year contract for some of the near-market
16 resources that's at or near market price right
17 now, or even slightly higher with a slight
18 premium, that does have the potential to be a
19 hedge and actually have ratepayer savings over the
20 long term.

21 I think it also refers to the fact that
22 with the 20 year or however long -- with the
23 certainty from the contractor payment you also get
24 lower cost of capital from that lower risk and so
25 that also, you know. That lower risk premium

1 reduces costs for the ratepayers ultimately as
2 well, as we saw in the New Jersey analysis.

3 CPUC ADVISOR ST. MARIE: Okay.
4 Primarily this is developer risk, though, that you
5 are talking about?

6 MR. RICKERSON: Yes.

7 CPUC ADVISOR ST. MARIE: Okay. I recall
8 many years ago when Britain first began to
9 experiment with the restructuring of its markets
10 that they were interested in what they referred to
11 as an infinite bus. Any consumer could connect to
12 the transmission grid anywhere, any producer could
13 connect to the transmission grid anywhere. They
14 ultimately abandoned that because even there they
15 could not build transmission fast enough to
16 connect to everyone who wished to connect wherever
17 they wished to.

18 The idea of the German derivation of the
19 feed-in tariff, which I am grateful to you for
20 explicating for us, is that generators could
21 connect wherever they wished. Has that part of
22 the feed-in tariff been successful? That is, are
23 Germans and others able to build transmission
24 lines to wherever it is that generators would wish
25 to connect?

1 MR. RICKERSON: I think a definitive
2 answer on that is a bit above my head and I have
3 to look elsewhere. But in general I think they
4 have been fairly successful. Keeping in mind that
5 Germany is a country of 80 million and about four
6 percent of our land mass. So it's much denser
7 both in terms of its load center and its
8 populations and also its existing transmission
9 infrastructure. So I think that's, you know.

10 One thing that gives people pause about
11 a direct transfer of feed-in tariffs over the
12 United States, especially at the federal level, is
13 if you had an open-ended feed-in tariff in some
14 place like North Dakota. It would be a decidedly
15 different environment to operate in than in
16 Germany where we have few people, minimal
17 transmission and a great resource.

18 CPUC ADVISOR ST. MARIE: You don't have
19 to go to North Dakota to find transmission
20 problems.

21 (Laughter)

22 CPUC ADVISOR ST. MARIE: We have them
23 here. I am now on page 15 in the Denmark slide.

24 MR. RICKERSON: Yes.

25 CPUC ADVISOR ST. MARIE: In 1992 the

1 feed-in tariff was set at 85 percent of the
2 current retail rate. I presume that is the then
3 current retail rate. And would that be a floating
4 number? As retail rates changed that number
5 changed?

6 MR. RICKERSON: Yes. And that's kind of
7 a wrinkle in feed-in tariffs, that generally they
8 have been fixed across time. And in the German
9 example, anyway, there was a float with retail.
10 And it ultimately turned out to be problematic,
11 which is why they switched. And why Denmark tried
12 to switch and failed with its alternative.

13 CPUC ADVISOR ST. MARIE: All right.
14 Okay, thank you, those are my questions.

15 MR. RICKERSON: Thanks.

16 MR. LEAON: Okay, any more questions
17 from the dais before we go to blue cards? Okay.

18 First let me say that we are going to
19 get our full allotment of time in for the next
20 presentation. We may run a little past 11:45
21 before we break for lunch. But I think it's
22 important that we take the time to allow for
23 questions and make sure that we get all the time
24 in for the next presentation as well.

25 Okay, I do have two blue cards. If

1 there are any other blue cards for Wilson please
2 hand those to staff. The first speaker, Adam
3 Browning with Vote Solar.

4 MR. BROWNING: Commissioners. Thank
5 you, Wilson, excellent presentation. One question
6 for you. It is currently the policy of the state
7 of California for a 20 percent renewable portfolio
8 standard. Efforts to take it to 33 percent --
9 There's a ballot initiative this year to go to 50
10 percent. If you take climate change seriously
11 it's a goal of many of us to get there.

12 It seems to me at that level of market
13 penetration the utilities have to have a lot of
14 say about the time and place of delivery, given
15 the inherent intermitentness and non-
16 dispatchability of renewables. And it seems to me
17 that a solicitation system deals with that better
18 than a feed-in tariff system. I could be
19 incorrect. Do you have any thoughts on that?

20 MR. RICKERSON: I mean, it's definitely
21 something to take into consideration, as you
22 all --

23 VOICE OVER THE SPEAKER:
24 (Indiscernible).

25 MR. RICKERSON: Hello? Am I the only

1 one who heard that?

2 (Laughter)

3 MR. RICKERSON: I think that's something
4 for the state to consider, obviously as you move
5 forward. As I think Bob will be getting into
6 later, there are different ways to take time value
7 and send market signals through a feed-in tariff.
8 Similar to how the CPUC has already approached it,
9 say with the time value of money. And that's kind
10 of inherently bundled in there. In some other
11 countries they differentiate also by season, not
12 just by time of day. And it is all in how you
13 want to set it up.

14 You know, that general definition of a
15 feed-in tariff, long-term investor security, is
16 kind of the shell. You know, some kind of long-
17 term standing offer, standing offer price. How do
18 you fill in all the details of that shell, I think
19 is what we are going to be spending the rest of
20 the day on if there are strategies for doing that.

21 MR. BROWNING: Thank you, Wilson.

22 MR. RICKERSON: Sure.

23 MR. LEAON: All right, thank you. The
24 next speaker, Carl Zichella, Sierra Club.

25 MR. ZICHELLA: Good morning, Wilson,

1 great job. I have a question. Some feed-in
2 tariffs are designed to have a declining tariff
3 over time.

4 MR. RICKERSON: Yes.

5 MR. ZICHELLA: And I wonder if you could
6 talk a little bit about that.

7 MR. RICKERSON: Sure.

8 MR. ZICHELLA: Because it allows for
9 cost recovery of front loads on some of the
10 security for investors early, but then it sort of
11 reduces the bite on ratepayers later.

12 MR. RICKERSON: Just to be -- And we
13 will get to this later. Just to make it a quick
14 distinction. In certain feed-in tariffs, like the
15 German feed-in tariff, there's a declining
16 schedule. What that means is if you lock in in
17 2007 you get a higher price for 20 years than if
18 you locked in in 2008. So there's a decline in
19 the 20 year price you get. That's one type of
20 decline.

21 A second type of decline is in things
22 like the German wind feed-in tariff where you get
23 a high price for the first, let's say, five years,
24 then it drops down to a secondary level. Both of
25 those levels are fixed over time though so you

1 know what they are ahead of time. And that's I
2 think what you are referring to with front-loading
3 and dropping. Again, design, design, design.

4 MR. LEAON: Okay, I think we have time
5 for a couple more questions. Let me ask our web
6 host. Do we have any?

7 MR. FLESHMAN: Yes, we do have one, Sean
8 Simon.

9 MR. LEAON: Okay, let's take a question
10 through WebEx, Sean Simon. Sean.

11 MR. SIMON: Hello, Sean Simon,
12 California Public Utilities Commission. Actually
13 I was hoping to just type this in. But my request
14 is if you might ask the speakers who have comments
15 or questions that they identify themselves for us
16 on the WebEx. And I will leave with that, thanks.

17 MR. LEAON: Okay. I think that probably
18 relates to the questions from the dais, yes.
19 Thank you.

20 Okay, I have one more blue card, Craig
21 Lewis, Green Volts.

22 MR. LEWIS: Yes, hi. Green Volts is
23 maybe coming from a somewhat unique position in
24 that we actually have successfully navigated the
25 RPS/RFO process and we have a two megawatt

1 contract with PG&E. It's a PPA for a
2 concentrating photovoltaic project. So we have
3 actually successfully navigated the RPS program.

4 It's a CPUC-approved deal. One of only
5 three solar deals that have navigated that process
6 thus far. And it's a small deal so we also have
7 suffered the consequences of having a lot of high
8 overhead of transactional costs associated with
9 the RFO process and having to leverage that over a
10 relatively small deal at two megawatts.

11 So I was a little confused as to whether
12 this conversation is going at 20 megawatts and
13 below. It seems like all of the serious feed-in
14 tariff initiatives that are happening in the
15 United States are really focused at 20 megawatts
16 and below so I hope that that is part of the
17 conversation here today.

18 And I had a couple of questions for
19 Wilson. I thought that was an excellent
20 presentation. It brought a lot of really good
21 information to the conversation here in
22 California.

23 And the first thing I wanted to, I guess
24 just clarify, is that Commissioner Byron had asked
25 a very specific question about a standard offer

1 contract versus a RFO process. And it seems to me
2 that a standard offer contract is fundamental to a
3 feed-in tariff program. So at least from Green
4 Volts standpoint, a standard offer contract has to
5 be part of a feed-in tariff program. That
6 eliminates hundreds of thousands of dollars of
7 transaction costs that are associated with the RFO
8 process, whether it's a two megawatt deal, a 20
9 megawatt deal or a 500 megawatt deal.

10 Also this is more of a specific
11 question. It seems to me that there's a couple of
12 different methodologies that have been
13 investigated in California for pricing in the
14 feed-in tariff program. Obviously pricing is also
15 fundamental to a feed-in tariff so we've got to
16 get that right.

17 It seems to me that there has been a --
18 MPR has been kind of the standard pricing
19 mechanism for feed-in tariffs here in California
20 thus far but the SCE biomass program as well as
21 the AB 1969 base feed-in tariff is priced at MPR.

22 Wondering if you considered, Wilson, the
23 mechanism of pricing at MPR plus a locational
24 benefits mechanism. So in other words there's
25 higher value for energy that is generated close to

1 load as opposed to further away from load.

2 Wondering if you've investigated that.

3 Also the national feed-in tariff bill
4 that you mentioned that was introduced on Thursday
5 by Congressman Inslee. That basically takes a --
6 it sets the pricing, I think it's at the 80th
7 percentile in terms of the resource strength by
8 region. So it seemed like a very interesting way,
9 a very effective way to set pricing.

10 It's a cost-plus. And the way it
11 develops the cost is it takes the 80th percentile
12 of where that resource is. So the solar resource,
13 you would take where the solar resource quality is
14 at basically the 80th percentile in the US,
15 develops the cost of that technology at that
16 resource quality level, and then adds a ten
17 percent cost adder or profit onto that cost.

18 So wondering how much thought you have
19 given to those two pricing mechanisms and if you'd
20 comment on that.

21 MR. RICKERSON: I'm sorry, I seem like
22 I'm dodging all these things. It's not because
23 I'm trying to be evasive but because a lot of this
24 is what we are going to be getting into during the
25 next presentation. So for example with the RFO, a

1 part of a standard offer or not. Again I think
2 that in general across the board most feed-in
3 tariffs do not have some kind of competitive
4 process.

5 Could there be where you have a
6 competitive process that sets a price that then
7 becomes a standard offer? Sure. And that's
8 something that we're going to talk about. It's
9 something that has been suggested both in the
10 literature and also at the times for California.

11 In terms of pricing. I think I'd
12 actually -- Since this is supposed to be an
13 introductory presentation I think I'll punt to the
14 next round of talks if that's okay.

15 MR. LEAON: And briefly. Again this is
16 Mike Leao. The focus of our process with the
17 Energy Commission is for projects over 20
18 megawatts in this process.

19 I think at this point we need to cut off
20 questions and proceed to our next presentation.
21 KEMA staff will be available to answer your
22 questions. And again I encourage you to submit
23 written comments to support any testimony that you
24 may have given today. Or if you weren't able to
25 get your question answered follow up with written

1 comments.

2 With that I would like to introduce Bob
3 Grace, our next presenter. Bob is president of
4 Sustainable Energy Advantage, a consulting and
5 advisory firm specializing in technical and policy
6 analysis of renewable energy markets. In this
7 role he has provided analysis, strategy,
8 implementation and support to over 60 public,
9 private and nonprofit sector clients, developing
10 renewable electricity markets and business
11 opportunities.

12 Bob holds an MS in energy and resources
13 from the University of California, Berkeley and a
14 BS in energy studies from Brown University. Bob's
15 presentation will examine Design and
16 Implementation Issues and Options for using feed-
17 in tariffs in California. Thank you. Bob.

18 MR. GRACE: Thank you, Mike. As Wilson
19 has shown us there is an increasing amount of
20 activity and interest and buzz around feed-in
21 tariffs. I personally come at this as an analyst
22 who has worked in the industry for awhile on a
23 range of tools to advance the role of renewables,
24 including the development of many of the state
25 RPSS in the country.

1 And I approach this as an agnostic. Not
2 as an advocate for feed-in tariffs but really as
3 an analyst curious about what role, if any, feed-
4 in tariffs might be able to play in meeting the
5 policy objectives in place in California and
6 elsewhere.

7 The purpose of the Issues Options paper
8 out of this presentation is to give us all an
9 operational understanding of this tool and its
10 features. The different ways that you can develop
11 a feed-in tariff. Think of it as a users manual,
12 if you will, to arm all of us for productive
13 discussion of what such a tool might be able to do
14 and then help us collectively decide whether there
15 are jobs that need to be done in California that
16 this might be a tool to help.

17 So in putting this report and the
18 presentation together we have looked to feed-in
19 tariffs as a tool, much like RPS is a tool. Not
20 asking what's wrong with the RPS or what the RPS
21 isn't doing, but rather what are we trying to
22 accomplish in California. That having gained that
23 common understanding, do we have objectives where
24 this tool can help, and if so, how.

25 Now Mike mentioned earlier on, and

1 you'll see a number of slides in this presentation
2 referring to a survey, an online survey. We have
3 created something of a novel approach. I don't
4 think it's been used here in California before.
5 Where we have -- in order to facilitate some of
6 the public stakeholder input we have developed an
7 online survey. And you will see here in this
8 presentation a number of slides as a survey
9 question.

10 Rather than reading them -- I don't plan
11 to get into and discuss them in-depth here today.
12 But this is offered in an effort to get more
13 detailed and targeted stakeholder input on the
14 various objectives as well as the design issues
15 and options that could be accomplished in this
16 workshop-type format.

17 There are a lot of questions and we
18 certainly don't have the length of time to get
19 into that kind of detail. And also to help us
20 organize our input and be able to take it further
21 in a more usable manner into development of the
22 next work product, the paper with recommendations.

23 In addition we will be still taking, the
24 Commission will be taking written comment. This
25 online tool hopefully will serve as a mechanism

1 for those who might not want to submit detailed,
2 written comments but would welcome the chance to
3 use such a tool in a way that saves them time and
4 effort. You don't have to go wordsmithing
5 detailed comments but still be able to help the
6 Commission with feedback on the direct and more
7 detailed implementation issues. As well as for
8 those who do plan to provide detailed written
9 comments at the higher level, some of the
10 questions that we will be talking about this
11 afternoon, but also wish to contribute some input
12 on the more detailed design issues.

13 A link to the survey will be posted on
14 the Commission website by no later than the close
15 of business on the 7th of July and possibly as
16 early as the close of business on the 3rd of July.
17 The deadline for completing that survey will be
18 the same as for the written comments, July 11th.

19 So we are introducing the questions
20 here. The questions track very closely along with
21 the structure of the Issues Options paper as well
22 as the PowerPoint, as you will see laid out in the
23 presentation. We were hoping that those
24 stakeholders who wish to submit responses to the
25 online survey could use this hard copy of this

1 presentation to prepare yourselves to take the
2 online survey in a time-efficient fashion.

3 In the previous PowerPoint and this,
4 Wilson and I both put a lot of effort into both of
5 these. There may be some questions that were
6 asked earlier that if you don't find them answered
7 adequately or want to probe further than I may be
8 able to help elaborate on -- and certainly in
9 response to questions and answers on this. There
10 are a number of topics that Wilson would be more
11 prepared to answer on. So when we get to the
12 question and answer state here I am going to be
13 asking Wilson to come up and join me.

14 So now on to the presentation. The most
15 important thing in any policy design is what are
16 we trying to accomplish. And as we talk through
17 the various options, the issues and options
18 available to us, we are going to need to keep
19 touching back on what were our objectives.
20 Because the design will need to follow the
21 objectives.

22 And intimately related will be measures
23 of success. what are the potential goals of a
24 feed-in tariff? Quantity. Do you want to
25 maximize generation? Are you going to measure

1 that in megawatts or percent of retail sales? Or
2 are you going to want to be looking at developing
3 certain quantities of certain types of renewables
4 over a specified time period?

5 From the cost perspective. Will you be
6 looking to minimize rate impact on retail
7 customers or minimize transmission costs or
8 minimize contract regulatory oversight costs. A
9 lot of different ways you can look at this.

10 Diversity. Are you looking to do what
11 the RPS does right now and get the most
12 renewables, the biggest bang for the buck? Or are
13 you going to be looking for promoting certain
14 generation technologies, smaller projects, certain
15 business structures, projects in certain
16 geographic areas.

17 There are a number of other objectives
18 here. But I think it is going to be critical to
19 our collective effort to get some kind of an
20 articulation of the objectives and the associated
21 measures of success. And prioritization of those
22 as well because ultimately a lot of these
23 objectives will conflict.

24 This is an example of the articulation
25 of the survey questions. I won't be going into

1 them here. But this is what you will see in the
2 online survey in the survey question boxes.

3 And an opportunity for stakeholders to
4 contribute their thoughts in this case on what the
5 appropriate objectives that a feed-in tariff might
6 be targeted to in California.

7 Appropriate measures of success on what
8 the appropriate objectives that a feed-in tariff
9 might be targeted to in California. Appropriate
10 measure of success and prioritization.

11 Now the design issues. There are a lot
12 of different choices to make in coming up with
13 feed-in tariffs. A wide range of those approaches
14 have been taken in feed-in tariffs implemented
15 today. There are lots of approaches that have
16 never been used but are certainly options
17 available in California or combinations of options
18 available to California that maybe hadn't been
19 used together before.

20 Here we have the list as we have
21 organized them of the different types of design
22 issues. Generator and technology eligibility is
23 one area.

24 The approach to setting the price.

25 The structure of the tariff.

1 The contract duration.

2 How that price might be adjusted over
3 time.

4 How it might be differentiated between
5 different technology types or locations or
6 resource quality.

7 Defining actually what is being sold or
8 purchased under the tariff.

9 How would the cost be distributed or
10 allocated amongst utilities and ratepayers in the
11 state.

12 Integration of what's purchased into the
13 power supply of utilities or others if it is not
14 the utilities doing the purchasing.

15 Issues of access. Which are largely
16 already addressed. In comparison to Europe where
17 the feed-in tariff was part of determining the
18 access to the grid.

19 Credit and performance assurance. Which
20 is a critical issue in much of the renewable
21 energy policy and would work differently under a
22 feed-in tariff.

23 Whether we would wish to put in place
24 quantity and cost limits.

25 And finally, how a feed-in tariff might

1 interact with other policies of the RPS first and
2 foremost but also AB 32 and the renewable energy
3 transmission initiative, to name two.

4 So I will be going through each of these
5 in turn and laying out a little description of the
6 issue and the options available. This tracks the
7 structure of the Issues Options paper.

8 So starting with generator eligibility
9 there are a number of different flavors here.

10 First, talking about resource type.
11 Which technologies should specifically be
12 targeted. There are a number of different
13 options.

14 You could set a feed-in tariff that
15 would be applicable to all RPS-eligible renewables
16 and this is similar to what is done in most
17 European countries.

18 Or you could focus on a subset of
19 eligible resources, mature versus emerging
20 technologies.

21 In some places the focus has been on
22 targeting certain ownership models so it could be
23 focused on community-owned resources. Or as we
24 already have in place here in California, focusing
25 on wastewater and water treatment facilities.

1 The pros and cons here of these options
2 depend on other design considerations, and most
3 importantly, on the policy objectives. You really
4 can't answer this without having defined what you
5 are trying to accomplish. As well as the tariff's
6 interaction with other policies.

7 So again, we will have survey questions
8 that will be available online to seek input on
9 each of those.

10 The next category here is vintage. Are
11 you focusing the feed-in tariff on new generation
12 or on maintaining existing generation. A similar
13 issue that has been raised in most RPS
14 proceedings.

15 So one approach you could use is using
16 the current RPS definitions, effectively excluding
17 existing resources.

18 You could focus on new generators only.
19 This is the typical European approach.

20 You could focus on defining the tariff
21 as available over a qualification life. So
22 effectively there would be a fixed contract
23 duration that would be adjusted by the years in
24 operation. So if you had a project that was
25 online already for five years and a 20 year

1 contract it would be eligible for 15 years of
2 payments. A new generator would be eligible for
3 20 years.

4 Or you could set joint generators online
5 after a certain date.

6 What are the pros and cons here?
7 Obviously the current RPS definition builds off of
8 existing administrative infrastructure and there's
9 a lot of reason why you might want to go down that
10 path.

11 Limiting to new projects can prevent
12 overpayment for existing projects. That of course
13 depends on the incentive structure but it would
14 tend to maximize impact of the ratepayer
15 expenditures.

16 And again the survey questions, which I
17 won't delve into now.

18 Generator location. Now we have the
19 flexibility of designing a feed-in tariff that
20 could effect -- Let me backtrack here. This
21 really goes to which tariff a generator could take
22 advantage of. So the options available here are a
23 generator could only take advantage of the tariff
24 of the utility to whom it interconnects.

25 Or alternatively, if you had some

1 utilities that didn't have feed-in tariffs, we'll
2 take POUs as an example, could a generator within
3 California take the tariff of another utility.
4 Somebody who it didn't interconnect to.

5 If so would it require energy delivery
6 to that utility? So if we had a generator here in
7 Sacramento could it decide to take advantage of
8 SCE's feed-in tariff, for example. Would it
9 require delivery? Could they only take advantage
10 of the nearest option?

11 Another option here is can any
12 California feed-in tariff be accessed by any
13 generator anywhere? Could it be with delivery or
14 access via RECs?

15 The pros and cons here range pretty
16 widely. In general all the feed-in tariffs to
17 date have been of the first category, only from
18 the utility to whom you interconnect. So this is
19 consistent with all of the other feed-in tariffs
20 that we are aware of that are known to work.

21 At the same time this could restrict
22 supply. It leaves out some areas if some
23 utilities don't offer tariffs. And it leaves out
24 generation outside of California, which may more
25 may not be desirable.

1 The next category is a generator could
2 access any feed-in tariff if you are a generator
3 within California. So this would expand access in
4 supply. Especially when there are utilities that
5 might not offer a tariff.

6 A con here however, is if the tariff
7 rates differ. Then you are going to have
8 generators that will chase the best available
9 tariff and that could create some issues.

10 The final category here is any
11 California feed-in tariff would be available to
12 any generator with energy delivery. So this again
13 would expand supply. And again, if utilities have
14 differentiated rates this is going to have
15 generators chasing the best-available rate.

16 But here you have an opportunity for
17 utilities outside of California to contract and
18 access so that would expand supply. Potentially
19 create some savings to ratepayers.

20 On the other hand it is going to
21 minimize the local benefits of generation in
22 California. Similar issues to those that have
23 been wrestled with in the RPS context. A similar
24 set of design choices.

25 So again the survey questions will

1 attempt to probe some feedback on that.

2 So another option here is
3 interconnecting utility requirements. This gets
4 into the question of, should all utilities be
5 required to offer tariffs or just a subset. Would
6 POUs and IOUs establish tariffs or just IOUs.

7 In terms of the pros and cons. If the
8 statewide requirement provides access for all
9 eligible generators, doesn't leave anybody out.

10 On the other hand, imposing feed-in
11 tariffs requirements on some of the smaller POUs
12 may tend to be burdensome. In the big picture I
13 think feed-in tariffs are unambiguously lower
14 transaction costs than the RPS. But when you are
15 dealing with smaller utilities that may not be the
16 case.

17 So another option is project size.
18 Would you set size limits, either maximums or
19 minimums, in terms of capacity or energy. So one
20 option is no size limit. Any generator can take a
21 tariff.

22 Another, capacity-based, project size
23 caps.

24 Or capacity-based size floors.

25 Again, for a minimum or maximum instead

1 of using a capacity-based structure in some cases
2 tariffs would be designed with energy-based
3 project size limits, which can differentiate based
4 on resource intensity or capacity factor.

5 Now the no limit approach makes small
6 projects competitive and could potentially
7 accelerate progress.

8 On the other hand there is the potential
9 that large projects might dominate, especially if
10 the overall quantity is kept. You could have one
11 or two big projects come in and effectively fully
12 subscribe the tariff.

13 Introducing size caps is one approach to
14 mitigating that risk. Now depending on how set
15 that there is the possibility that you could
16 specifically use this to target systems of sizes
17 that might fall between the cracks, whether it's
18 below 20 megawatts or perhaps there is a level
19 between 20 megawatts and something higher where
20 some projects are not able to compete effectively
21 in an RPS context but might come online in
22 response to a feed-in tariff of a similar price
23 target.

24 You've got the ability to encourage
25 distributed generation and you have the potential

1 to control market growth and policy costs by
2 limiting the participation.

3 Again if you have a project size cap you
4 have got the possibility that large projects may
5 attempt to work around that cap by fragmenting
6 into multiple smaller projects so it may not be
7 effective.

8 In terms of size floors. You might
9 decide that this tariff will be set to encourage
10 large-scale development and as such it could do
11 that. In doing so then you might not achieve the
12 small scale distributed energy policy objective.
13 So again this comes to, what are you trying to
14 accomplish.

15 In terms of the option of limited
16 resource intensity or capacity factor. You could
17 use this as has been done to target project
18 development in areas with marginal renewable
19 energy resources. Wilson touched earlier on the
20 German example of distributing capacity into
21 places with weaker resources and you can use this
22 approach.

23 Again, as Wilson pointed out earlier,
24 this creates the possibility of providing support
25 for projects that don't generate a lot of energy.

1 If that is not your policy objective then you are
2 not going to want to go down that path.

3 So that's the realm of potential
4 eligibility design choices. Now I am going to
5 start talking about setting the price. There are
6 a number of different approaches to setting the
7 price. Wilson has touched on them by way of
8 example but now I am going to put some labels on
9 them.

10 One approach is what we'll call value-
11 based payment. So generators get to pay based on
12 the value of what it contributes to its system.
13 Or the commodities. The energy capacity and so
14 forth.

15 So the options here are, you have a base
16 payment based on the value of the energy
17 delivered.

18 You could modify that so that you would
19 create time-of delivery adders.

20 Or adders to recognize environmental
21 externalities or grid size benefits. One of our
22 questioners in the last round here had been
23 getting at this. You could create an adder for
24 desirable locations.

25 You could choose a wholesale versus a

1 retail price reference.

2 So the pros and cons of the value-based
3 approach. Basically the pros: This is a very
4 technology-neutral approach. It is very similar
5 to what has been done in California today in terms
6 of using the market-price referent. It does give
7 you the ability to create rapid market growth since
8 positive market signals to generators that can
9 dispatch on peak. You've got time-of delivery
10 differentiation.

11 But the cons here are that this approach
12 doesn't address the value of diversity or
13 technology diversity in particular. While you
14 could tweak it, as many RPSs have been tweaked to
15 create technology tiers you could also tweak a
16 value-based feed-in tariff to achieve other
17 objectives through the selective use of adders.

18 That may be a fairly indirect way to get
19 at what there's a tool to do more directly, which
20 is generation cost base payments. And many of the
21 examples that Wilson gave fall into this category
22 where the price is set to ensure each technology
23 sufficient profitability.

24 This is basically an administratively
25 determined estimate of capital operating finance

1 costs, tax incentives. What is it going to take
2 to attract sufficient investment and get a
3 generator online.

4 Options include setting the profit
5 level. So you would administratively determine a
6 return on investment. And there are a number of
7 different ways to go about doing that.

8 When you are designing that cost payment
9 there are two different philosophies you could
10 take. A conservative philosophy where you would
11 be targeting the most competitive developers or
12 scale or resource quality within each technology
13 type. So this is going to be more similar to the
14 RPS outcome where the best, most cost-effective
15 resources are going to be the ones that can play
16 and that will be able to come online and respond
17 successfully to a feed-in tariff.

18 On the other end of the spectrum you
19 could take an aggressive point. So you could set
20 prices high enough to allow a broad range of
21 systems of different sizes, types and resources.

22 In reference to one of our questioners
23 had brought up the 80th percentile approach in the
24 federal bill. Think of it this way. So a 90th
25 percentile might be a conservative approach or you

1 might set a price that would attract based on the
2 30th percentile. So a much broader range. It
3 would be a higher price so some project would tend
4 to make a higher return but a wider range of
5 projects would be able to come online.

6 And tariff differentiation touches on
7 similar issues and we'll be talking about them
8 more later -- in a little while.

9 So pros and cons here. The European
10 Union has concluded that it is able to
11 successfully set prices more accurately and
12 effectively than quantity targets. That's
13 certainly one of the big issues here.

14 It simultaneously moves each technology
15 down its experience curve more rapidly so you may
16 be able to make it a more cost-effective -- or
17 this may be more cost-effective in the long term
18 than exhausting the cheapest technologies first.

19 Aggressive targets can entice less
20 mature, more costly technologies and effectively
21 accelerate an industry more quickly. Or end up
22 having less efficient sites or scales.

23 Now one question that has been not well-
24 tested in Europe is competitive benchmarks. And
25 this gets to how do you administratively select a

1 price on a cost-based context. Coming up with a
2 competitive benchmark would allow you to replace
3 an administrative determination of cost and
4 profit. And the reason you might think about this
5 is in part because of the physical situation we
6 have here in the US relative to Europe.

7 In Europe you've got dense population,
8 not a lot of locations where you could build large
9 projects in a fairly saturated market. So the
10 risk of setting a price and then having a 2,000
11 megawatt wind project go and take it and having
12 set that price too high has really never been a
13 material risk in Europe. But I think it is very
14 much a risk here in the US. So one way to get at
15 that is to determine a competitive benchmark.

16 What are your design options? Well, you
17 could do this in a number of different ways. You
18 could focus this on all resources or just on
19 differentiated types of projects.

20 The mechanism and frequency by which you
21 might go about determining benchmark. Well you
22 could set all prices determined on a periodic
23 option or solicitation. But at that point it
24 doesn't look very much different than an RPS.

25 Alternatively you could use a recent

1 representative benchmark that might have an
2 adjustment factor. So here is an example. You
3 could say, the last RPS solicitation, we'll take
4 all comers at 95 percent of that price.

5 You basically have a mechanism
6 where you know that the price that you are
7 offering is within the realm of what you would
8 have gotten in a competitive context. And so you
9 could do that. You have the opportunity,
10 potentially, to weave in, in a periodic
11 solicitation, say for solar. And then use the
12 result of that to subsequently set a feed-in
13 tariff price.

14 The advantage of doing this is you are
15 mitigating the risk of setting the tariff too
16 high. The con is it could be administratively
17 cumbersome. This is an area where I don't believe
18 this has been done before, although I think Wilson
19 came across recently the first potential example
20 of using a similar approach.

21 So the next design choice is tariff
22 structure. The number of different structural
23 options. The variations in terms of the present
24 risk profile, the degrees of revenue certainty,
25 and the interaction with electricity markets.

1 Obviously revenue certainty is one of the key
2 reasons that you would consider establishing a
3 feed-in tariff.

4 So one option is just setting a fixed
5 price over a multi-year contract.

6 Another is a stepped fixed price, as
7 Wilson graphically demonstrated. Where the price
8 would come down over the latter years of a
9 contract.

10 You could have a fixed premium that
11 floats on top of the market price. Again Wilson
12 has pointed out that that has had some issues in
13 terms of not providing as much revenue certainty.

14 You could have a hybrid approach in
15 which generators can disaggregate the selling of
16 certain commodities or attributes under a feed-in
17 tariff and others sold to the marketplace.

18 You could have a contract for
19 differences, or what's known as a fixed-for-
20 floating swap. This is basically a financial
21 settlement rather than the purchase of electricity
22 where you might set a price. It's a ten cents a
23 kilowatt hour. And to the extent that market
24 prices fluctuate above or below that there would
25 be payments either to or from the generator so

1 that at the end of the day they are left with
2 their strike price. That revenue certainty,
3 without necessarily having to have a power
4 contract that the utilities or others would have
5 to manage.

6 What are some of the pros and cons of
7 these approaches. Well the fixed price provides
8 the greatest revenue certainty. Some of the
9 detractors have noted there that having that fixed
10 price creates no incentive to operate at system
11 peak times.

12 The stepped fixed priced. Again revenue
13 certainty. It allows and really facilitates a
14 transition off of over-market support. And you
15 can use it again to differentiate resources.

16 The same problem with the fixed price.
17 No incentive to operate at system peak. And again
18 it would be administratively more complex to set.

19 The fixed premium allows generators to
20 receive electricity market price signals to
21 operate when their output is most desired. At the
22 same time, if electricity market prices rise, it's
23 more costly for customers and more profitable for
24 the generators. So effectively that loses the
25 opportunity to use that feed-in tariff as a way of

1 hedging retail customer costs. And that was one
2 of the issues that Wilson brought up with, Denmark
3 was it?

4 MR. RICKERSON: Spain.

5 MR. GRACE: Spain, thank you. The
6 hybrid approach. Again, if some of the generation
7 products are purchased under a feed-in tariff and
8 others are sold at market. Well that shares the
9 policy risk between developers and ratepayers.

10 On the other hand investors are still
11 partially exposed to volatility, for instance, the
12 REC market. It depends on what product we're
13 selling here. But in still exposing those
14 investors to that volatility you lose some of the
15 benefit of reducing risk and therefore the cost of
16 capital to those generators.

17 The contract-for-difference approach
18 does allow you to have the revenue certainty for
19 generators. The same problem as with the cons.
20 No incentive to operate at a system peak. One
21 advantage that I didn't put up here is if you take
22 this path you don't have to have the utilities
23 manage an unknown influx of generation into their
24 power supply. I'll be coming back and talking
25 about that a little bit more later.

1 Okay, so you are going to offer a feed-
2 in tariff and you've figured out how to set the
3 price. How long are you going to offer that
4 tariff for? Setting the price and the length of
5 the contract are closely linked. Certainly for
6 capital-intensive technologies the shorter you
7 make your contract the higher you are going to
8 need to make the initial payment in order to make
9 it attractive for investors to invest.

10 So you have choices here. You could
11 have a short-term tariff, maybe in the three to
12 seven year time frame. In this case there would
13 be potentially less risk for investors if they can
14 pull out their investment quickly. I think that
15 is really a very solar perspective or solar-
16 oriented perspective that some stakeholders in New
17 Jersey have put forth. Really a lower ratepayer
18 impact for high-cost technologies has been argued.

19 The con here is that you would have a
20 much larger up-front rate shock. Investors don't
21 have the incentive to maintain the technology over
22 time. And you lose the potential for near-term
23 technologies to serve as a hedge to market prices
24 over a long-term.

25 A medium duration contract lowers the

1 risk due to the long-term contract. It allows for
2 amortization of capital costs over a longer
3 period. It balances out the risks between the
4 short- and long-term contracts. I'll talk about
5 the long in a moment. And would result in a more
6 moderate rate impact than the short-term option.

7 A longer term contract. And most feed-
8 in tariffs would fall into this category, the 15
9 to 20 years. It creates an opportunity for near-
10 market technologies to serve as a hedge. It does
11 create a potential risk for technologies with fuel
12 costs, particularly biomass. It can be very
13 difficult if not impossible for biomass plants to
14 lock in their costs over any period of time. So
15 you may decide that for biomass it would be more
16 appropriate to have a shorter term feed-in tariff
17 and for more capital-intensive generators to have
18 a long-term.

19 Another option is to have an optional
20 contract term that offers developers a range of
21 contract lengths to choose from. Well this could
22 provide developers with the flexibility to
23 determine the appropriate contract length for
24 their needs but it would create additional
25 administrative uncertainties with regard to the

1 total life of the program, as well as additional
2 complexities for managing those contracts within
3 power supply.

4 An indefinite term is another option.
5 It provides developers with a guaranteed revenue
6 stream for the life of the project. Here I think
7 it becomes harder to calculate what the
8 appropriate price is in that context. And as well
9 ratepayer costs may exceed the duration required
10 to achieve the objectives. So that might not be
11 in ratepayers' best interest.

12 Now what about adjusting prices over
13 time. Another issue that was brought up and
14 Wilson gave several examples of how this has been
15 done.

16 The options available to consider here.
17 This really provides flexibility to periodically
18 adjust tariff prices towards the right level,
19 however that may be defined.

20 So you could have a feed-in tariff that
21 has no adjustments. The tariff was set and left
22 at a specified level indefinitely. It certainly
23 creates a great deal of certainty but it does not
24 allow you to be price responsive.

25 And just for clarification here, I am

1 talking about the price available to a generator
2 that comes online at any particular point in time.
3 So a 2009 generator would get this price, a 2010
4 generator may get a different price. this is how
5 we determine the price available to generators
6 that come online in different years, as opposed to
7 adjusting the price available to that specific
8 generator.

9 So you could have a price that's fixed
10 with an inflation adjustment. So the tariff level
11 would periodically adjust for those new and
12 operating plants.

13 You could have tariff digression. We'll
14 talk about this in length shortly. But basically
15 the level of incentive payment available to new
16 plants would reduce over time. That takes into
17 account the potential for generation technologies
18 to benefit from falling prices that come with
19 scale economies and technology advancement.

20 You could have an indexed that changes
21 with the measure of value. Wilson had pointed out
22 tariffs that were linked to retail rates. Or here
23 in the MPR context they are linked to the future
24 outlook on wholesale rates in any particular point
25 in time. So this really fits the cost-based

1 context. And in this case you would reset the
2 price based on your then-current outlook on future
3 prices.

4 So pros and cons of these different
5 approaches. The no adjustment is a stable
6 framework, very easy to implement. But it fails
7 to account for changes or to push cost reductions.
8 And really a feed-in tariff can and perhaps should
9 be used to push cost reductions.

10 Inflation adjustment. Well it provides
11 for increases in certain operating costs but it
12 really fails to account for other types of changes
13 or, again, to push cost reductions.

14 Tariff digression has been a very
15 commonly used approach and it creates a lot of
16 advantages. It ensures that the incentive changes
17 with new conditions to remain at the right level
18 to be successful, to have generation come online
19 in response to it.

20 It provides incentives for technology
21 improvement and for investment in, expansion of
22 manufacturing capabilities and capturing scale of
23 economies and encourages cost reductions. So
24 that's a major reason why tariff digression is
25 used widely. And it minimizes the cost of

1 overcompensation over the long term.

2 However, it is far more administratively
3 complex and potentially costly from that
4 perspective. And again your chosen project
5 tariff digression rates may not match the actual
6 changes in costs over time.

7 Finally the choice of indexing to the
8 change in the measure of value. So this allows
9 you to keep in line with the current value of the
10 long-term contracts so it is very much like
11 California's MPR approach today with the RPS.

12 Again, as we all know, this is
13 administratively complex and potentially costly.
14 It could diverge with the costs necessary for
15 generators to earn adequate returns. So again
16 this works with the cost-based approach and
17 doesn't really fit very well with the value-based
18 approach.

19 Now if you do have an approach in which
20 you allow the price to change you have some
21 different choices on when you would adjust that
22 price. You could have periodic revisions so you
23 would have it pre-scheduled. Every two years you
24 would kick into a new price. There might be a
25 five percent decline every two years, for example.

1 You might have capacity dependent
2 revisions. Here you would say, quantity blocks.
3 Once you've gotten your first 200 megawatts of
4 solar you are going to kick down to a lower price.
5 In that situation if you have -- You're not
6 locking it, your digression into a projection of
7 when prices will come down. And when prices do
8 come down such that at a higher price the market
9 has been very responsive, you have an ability then
10 to take advantage of that and click on down to a
11 lower price. At that point the fact that the
12 first block has been fully exhausted is a pretty
13 good signal that a lower price is probably viable.

14 Or you could set up just a process for
15 periodic review. So there's no scheduled decline
16 but there could be a regulatory review every two,
17 three, four years to take a look at whether -- How
18 has the tariff been responded to. Do we have an
19 opportunity to digress the rates and set a new
20 schedule. We'll reconsider prices.

21 Or on the contrary, if we have a tariff
22 where there has been too little response because
23 costs have increased we may decide it's time to
24 raise that. And then that might be, that might
25 have fit the situation we've seen over the last

1 couple of years.

2 So the advantages of periodic revision
3 is most predictable for generators. It encourages
4 a stable market. In this type of a situation you
5 really can have vendors and manufacturers,
6 everybody all up the value chain know exactly
7 what's coming and make long-term investment
8 decisions to serving this feed-in tariff.

9 And it is very administratively
10 straightforward. But if the market transformation
11 doesn't occur at the predicted rates then the
12 payment streams may decline at a pace that's
13 detrimental to increasing generation. If you've
14 locked this in ahead of time and you haven't
15 picked the right price then once it starts
16 clicking down you may have all of your response
17 dry up.

18 The capacity-dependant revisions is
19 really a -- it mitigates that potential risk. So
20 here it is moderately predictable. It encourages
21 generators to come along sooner because the more
22 they wait they may end up taking the lower price.
23 And it encourages a very stable market. So if the
24 steps are small it's very good at making viable
25 prices visible over time. It is more likely to

1 track the transformation of the market and its
2 progress over time.

3 However, it could create speculative
4 queuing to capture the higher rate. So you've got
5 to -- To the extent that you have a process where
6 the available capacity at a particular price is
7 going to cap you inevitably will have generators
8 that aren't ready rushing to get in line for
9 whatever process you've defined for getting in
10 that line or accessing that higher rate.

11 And that may create some of the
12 speculative clearing issues that you're having,
13 that we're having today in the RPS context. And
14 again, if the price decline lags behind the market
15 transformation the tariff may rapidly dry up.

16 So the periodic review is really best
17 able to address the change in circumstances from a
18 regulator perspective. From a investor and
19 developer perspective, however, it is the least
20 predictable.

21 The next logical question then. If we
22 are going to address the prices in whatever manner
23 we decide when to do it, how much do you adjust
24 the price. Well, you can use what's called
25 experience curves. So you're applying a

1 calculated rate of annual cost decline based on
2 past empirical experience or somebody's projected
3 data on where the technology costs are trending.

4 Or you could simply set uniform steps.
5 And this tends to go with the capacity block
6 approach where just periodically you step down to
7 a lower price, which is automatically triggered
8 once you hit a certain megawatt level.

9 Now the experience curves is highly
10 transparent, predictable, and in theory matches
11 achievable cost decreases. It certainly creates
12 incentives to build early and certainly creates
13 incentives for technological improvement.

14 However, if the digression rate is set
15 for many years the system becomes inflexible,
16 rising prices could alter the trajectory, and you
17 may have a situation where the effectiveness of
18 the tariff dries up.

19 Perhaps more importantly, it is very
20 administratively difficult to determine the right
21 rate. It really is an exercise in educated
22 guesswork.

23 The uniform step approach automatically
24 responds to efficiency improvements and economies
25 of scale. Modest steps will increase the

1 likelihood that the tariff is still financially
2 feasible and it's administratively
3 straightforward. So good things to keep in mind
4 if you're going down that path.

5 Tariff differentiation. Now this is an
6 area where some countries have taken it to an
7 extreme. Wilson, what's the longest list here?
8 What, about 30 or 40 different tiers? Something
9 along those -- And so one might see that that
10 could be administratively complex.

11 But when a policy is based on generation
12 cost rather than value, how and to what extent
13 should the tariff levels be subdivided? A lot of
14 different ways you can do this. Technology type,
15 wind versus solar. Or fuel type. Biomass,
16 agricultural waste might get a different approach.
17 Or application. Building-integrated PV versus
18 roof-mounted versus solar/thermal and so forth.

19 Project size. You could set higher
20 levels for smaller projects to recognize scale
21 economies.

22 Resource quality. You could set higher
23 levels for low-wind to encourage geographic
24 diversity if that were your objective.

25 Commercial operation date. You could

1 set different prices to target existing or
2 repowered. This might be a way you have a
3 specific target to encourage repower generation
4 that isn't happening under the RPS context.

5 Different ownership structure. Perhaps
6 you have an objective that you would like to
7 encourage community ownership and therefore you
8 could set a specific price that worked there.

9 Transmission access. You could decide
10 to have higher payments for facilities that are
11 near transmission or near load.

12 And location. You could target
13 generation in a load pocket. Or conversely,
14 discourage a location in a transmission-
15 constrained area.

16 So obviously the pros and cons of all of
17 these depend completely on your objectives.

18 Changing gears now. So you set a
19 tariff. We figured out what the pricing is. This
20 is really related to what the pricing is.

21 What is being purchased under this
22 tariff? You do have different choices. Bundled
23 versus unbundled. Do you look at the renewable,
24 environmental attributes, energy, capacity,
25 ancillary services. I know we don't have all of

1 these markets up and operating and California at
2 this point but it looks like we are going in that
3 direction.

4 The options you have, the simplest is
5 you are buying everything bundled together.
6 Energy, electricity commodities, energy capacity
7 and ancillary services and all the RECs. End of
8 story.

9 You could have a commodity-only purchase
10 so you're buying just electric energy or maybe
11 other energy and capacity if applicable and the
12 RECs are being sold off separately into a spot
13 market.

14 Or you could do the reverse. The tariff
15 is just buying RECs and generators are left to get
16 electricity commodity revenues on their own in the
17 existing markets.

18 You could have just energy and just
19 RECs. And perhaps unbundled capacity rights and
20 ancillary services could be sold off into the
21 markets.

22 And finally you could have all the
23 commodities and the RECs but perhaps unbundled
24 other attributes. Tradable emission rights could
25 be sold separately. And that might apply here in

1 California under very narrow circumstances since
2 the treatment of those environmental attributes is
3 really stapled to part of the REC is largely
4 predetermined.

5 So what are our advantages and
6 disadvantages of these approaches? Well the
7 bundled approach, it ensures that California
8 ratepayers are going to receive the energy and
9 environmental benefits of what they are paying
10 for.

11 It may not be consistent with the RPS
12 should the PUC adopt the use of RECs for RPS
13 compliance. A lot of detailed decisions to make
14 there depending on where the regulatory regime
15 goes for the RPS.

16 Allowing RECs or other attributes to be
17 unbundled. Well this allows generators to access
18 a supplemental revenue stream and a cost-based
19 tariff price therefore could be lower.

20 This leads to a number of different
21 issues, though. What could be claimed as
22 renewable energy if you are buying just the energy
23 under a tariff well you are really not buying
24 renewables.

25 If we are actually going elsewhere what

1 could be counted for RPS compliance? What could
2 be counted towards complying with a feed-in tariff
3 contract if RECs or other attributes were
4 unbundled and sold separately?

5 So what if you were only to have RECs go
6 under a feed-in tariff? Well then you are
7 compatible with an RPS or renewables market that
8 is characterized by unbundling RECs from energy.
9 And California might go in that direction.

10 Today California does not allow that but
11 the CPUC is considering it. So if we go down that
12 path this approach becomes a viable one.

13 And we will look for input on all of
14 those issues.

15 Let's talk now about cost distribution
16 and allocation. To a large degree this is an
17 obvious situation. Today in the RPS context we
18 have utilities all with a similar target but with
19 very different resource mixes within their
20 resource potential within their territory. So the
21 different utilities are making differential
22 progress towards the goal and the ratepayers are
23 therefore paying differently in reaching towards
24 those goals.

25 So one question is: Who buys? How are the

1 tariff's costs carried and reflected in the rates?
2 And who has to dispose of the products being
3 purchased?

4 Given that California is a unique market
5 structure, having gone into a retail competitive
6 market situation and retracted from that but
7 having some residual pockets of different
8 generation service providers. You have IOUs, POUs
9 but you also have ESPs and community choice
10 aggregators.

11 So one option here for who is doing the
12 buying is the retail generation seller. The other
13 option is the provider of transmission and
14 distribution. In other words, the utilities
15 themselves.

16 The choice made here dictates how the
17 tariff costs are carried and reflected in rates.

18 Who has to administer the tariff and the
19 payments.

20 Who has to dispose of the products being
21 purchased.

22 Pros and cons. using the retail
23 generation sellers. Well this is consistent with
24 the purchase of electricity to be treated as part
25 of the power supply.

1 But this could be very cumbersome for
2 small sellers, the ESPs and the CCAs to
3 administer. It could add a great deal of
4 complexity in managing the power supply
5 implications unless all of the supply were sold in
6 the spot markets. It's a option I'll be talking
7 about in a minute.

8 On the other hand, having the tariff be
9 offered by the T&D utility is certainly simpler to
10 administer. But it requires a distinct management
11 and treatment of the power supply and really it
12 dictates how and where the costs are going to be
13 recovered. Not as part of generation rates but as
14 part of the transmission and distribution
15 component of rates.

16 So again, who pays? A related issue one
17 needs to think through. Should the costs be
18 allocated across the state regardless of the
19 location of generators? And if so, how can those
20 costs be allocated?

21 Our options are, to not bother with a
22 statewide reallocation. So as we have today with
23 the RPS, each utility would bear the cost
24 associating with interconnecting generation within
25 its territory.

1 Alternative you could reallocate the
2 aggregate annual feed-in costs to equalize the
3 costs among all the utilities with feed-in
4 tariffs.

5 So each utility would bear a share of
6 the cost in proportion to their load. Their
7 ratepayers would be subject to comparable
8 collection and impact.

9 This could be accomplished in a couple
10 of different ways, either by utility-to-utility
11 transfers of collections, or through perhaps a
12 central agent. The California ISO might be well-
13 positioned to play that role.

14 Again, another separate issue on who
15 pays is, which ratepayers pay? Would you
16 distribute the cost across all classes or would
17 you exempt some classes from paying here. That is
18 the choice that has been made in some places and
19 it's a choice available in California.

20 So pros and cons here. Not allocating.
21 Very simple but it may raise costs significantly
22 for utilities in renewable-rich areas that could
23 potentially undermine public support if costs are
24 disproportionately incurred in those renewable-
25 rich areas.

1 On the other hand, reallocating across
2 the state resolves some of the equity issues,
3 although it adds a level of administrative
4 complexity.

5 Utility-to-utility in terms of how to
6 reallocate the utility-to-utility transfers.
7 There's some degree of complexity and oversight
8 necessary there.

9 If you had a third part like the
10 California ISO perform that, operationally it
11 would be very easy. It would be, I think, a
12 fairly straightforward fit or addition to the
13 current functions but it may seem at odds with the
14 ISO's mission and it may require FERC approval.

15 Finally, the question of exempting
16 certain customer classes. It was obvious if
17 you're in the customer class that gets exempted.
18 But for the perspective of everybody else at the
19 table. I think this results in higher costs borne
20 by customers not exempted and so there is just an
21 equity issue there.

22 The next nuance is the cost recovery
23 mechanism. Is the cost of the feed-in tariff
24 recovered through generation rates or through a
25 separate charge on distribution rates. Again only

1 relevant because we have the market structure
2 where we have the SPs and CCAs.

3 If you put it on generation rates the
4 tariff can be part of a general rate case.

5 You have a limited opportunity
6 potentially if the tariff is part of a broader
7 rate case for the PUC, to focus on specific tariff
8 oversight or evaluate the effectiveness of the
9 contact in the broad rate case versus a more
10 targeted regulatory proceeding.

11 If you have the charge placed on
12 distribution rates you have greater transparency
13 on how much the tariff costs.

14 Then you have a number of questions.
15 Who would be the administrator? At what amount
16 should the charge be set? How often do you adjust
17 the charge? How to allocate the funds. How to
18 true-up. Really these are just the administrative
19 details which are necessary in every case.
20 They're just different administrative burdens and
21 details in terms of putting them into play.

22 Now just a simple question here of who
23 manages the cost collection and distribution. In
24 some places this has been done by different
25 parties. So you could have effectively the state

1 regulators treating this, in effect, like a public
2 goods charge.

3 You could have the utilities that deal
4 with collecting and distributing. This is what is
5 done in Germany.

6 You could have a third-party management
7 under contract. This is what is in the federal
8 proposal that we just heard about and other states
9 do this in similar context. Vermont, New Jersey,
10 Delaware have other entities that deal with the
11 collection and distribution and keep it out of the
12 regulatory -- direct regulatory regime.

13 Integration of whatever is purchased
14 into the power supply of the utilities or others
15 is again a detail. And this one we see very
16 little discussion in the literature. But it's a
17 very real one to those who are managing the power
18 supplies of the utilities.

19 We have a number of different options.
20 All the generation products in a feed-in tariff
21 could simply be sold in the spot market.

22 Or all the generation products could be
23 delivered to the utility's system, the
24 interconnecting utility's system, and incorporated
25 into that utility's power supply where we use the

1 generation seller and involve the ESPs and CCAs
2 into their power supply. And then if reallocation
3 is needed one could allocate dollars instead of
4 energy. It's really a financial settlement.

5 The third option here is all the
6 generation products, energy RECs, capacity,
7 whatever is purchased, could be allocated and
8 delivered to each utility or retail generation
9 service provider in perspective to their
10 respective load.

11 So if that's the case then there is no
12 reallocation of funds necessary. It certainly
13 makes for a more complex contracting scheme. But
14 the payments to the generators would come from
15 either, would come from each utility directly or
16 through, be allocated through an agent.

17 So pros and cons of these approaches.
18 All products effectively liquid in to the spot
19 market. The simplest option to implement. No
20 interaction with the power supply procurement and
21 management of any of the utilities. All the power
22 supply managers breath a big sigh of relief they
23 don't have to deal with it.

24 All generation products incorporated
25 into the interconnecting utility's power supply

1 and any distribution dealt with financially.

2 Well that's reasonably straightforward,
3 especially if the generation is netted from load.
4 It's very similar to today's context of signing
5 RPS contracts. And allocating costs may have a
6 lower rate impact than allocating generation
7 products because allocating the generation
8 products means somebody has to encourage some
9 additional costs of managing the power supply.

10 The con here is that to the extent that
11 you have utilities that have a large slug of, or
12 really an indeterminate quantity of power coming
13 into their mix. Again, we don't have RPS
14 contracts. We know exactly what's coming. Here's
15 an advance here. But generators can simply show
16 up with a more limited planning and for notice.

17 Planning the power supply around that
18 may become more difficult because the remaining
19 load obligations of the utilities become more
20 difficult to quantify and plan for than under the
21 spot market option, certainly.

22 The final option with all the generation
23 products allocated to and delivered to each retail
24 service or each LSE.

25 It is certainly consistent with setting

1 the statewide feed-in tariff target. But this
2 adds quite a bit of complexity for ESPs and CCAs
3 if they are directly involved in terms of
4 interfering with their power supply management and
5 procurement. You certainly would incur higher
6 transaction costs and delivery costs than with the
7 financial reallocation.

8 And frankly, if these are contracts then
9 you have multiple contracts for every generator
10 rather than a single one. This requires another
11 party, maybe it's the Cal-ISO, to effectively
12 distribute the generation products into different
13 power supply mixes at the ISO.

14 And if utility delivery is strictly
15 enforced. Well that really works differently from
16 the flexible shaping and firming allowed in the
17 RPS and could result in incurring additional
18 transmission costs. So there are a lot of issues
19 here which might cause us to shy away from taking
20 that path.

21 So access. As Wilson mentioned earlier,
22 the issue of access was one of the major drivers
23 in Germany and Europe as a whole. Here FERC has,
24 starting with FERC Order 88 we really do have an
25 environment in which access, physical access is

1 guaranteed. It really becomes more of a question
2 of who pays. So the question here really is, who
3 pays for the direct costs of interconnecting feed-
4 in tariff generators to the grid?

5 Options. The generator pays, the
6 current policy. Or costs are socialized. The
7 generator pays. You are encouraging careful
8 siting of generators to minimize interconnection
9 transmission costs.

10 Costs being socialized. Well now you
11 are lowering barriers to renewable generation and
12 improving the internal economics of the
13 generators. But you are removing an important
14 price signal for locating plants. So whether you
15 want to depart from the existing policy is a
16 design choice.

17 There are other costs, however, in
18 addition to just physically interconnecting.
19 There's upstream transmission improvements that
20 may be required to accommodate the generation.

21 Now here current California ISO policy
22 allocates transmission upgrade costs over 200
23 kilovolts across all customers. Upgrades under
24 200 kilovolts, there are more options available.
25 One could choose to allocate the costs to the

1 local transmission owner, that's the current Cal-
2 ISO practice. Or to socialize those costs more
3 broadly.

4 And similar to the previous slide, one
5 approach, the local transmission owner taking on
6 those lower than 200 kV costs. No action is
7 required and you have got the incentives to locate
8 efficiently.

9 More broadly socializing those costs,
10 the same as the previous slide. It is consistent
11 with equalizing the cost impact across all
12 ratepayers. Although it does create a dis-
13 incentive to locate projects where they are most
14 needed and to minimize the overall cost to the
15 system.

16 One other nuance here is that California
17 PUC Rule 21 addresses grid access for distributed
18 generation up to ten megawatts, effectively
19 standardizing the process. And so the question
20 here is, if we had a feed-in tariff for generators
21 above ten megawatts would it make sense to extend
22 that tariff standardization to facilitate the
23 effectiveness and the ease of use of the feed-in
24 tariff? So the choices here are effectively to
25 extend that or to maintain the status quo.

1 Updating the rule for greater than ten
2 megawatts would certainly make it, it would
3 facilitate easier access for generators and lower
4 their costs, their transaction costs of dealing
5 with interconnection. But whether there are other
6 issues here really requires careful study to
7 ensure that reliability, for example, is not
8 impacted in a negative way.

9 All right, credit and performance
10 assurance. This is a huge one. If you are a
11 generator having participated in most market
12 structures, credit and performance assurance have
13 been very substantial issues.

14 There a few different aspects here.
15 There's one topic of this whole PowerPoint where
16 we really moved a topic relative to where it sat
17 in the Issues Options paper, and this one on
18 queuing procedures is one that we have relocated
19 to here. It's treated in Chapter Six earlier on
20 in the Issues Options paper. But it seemed like a
21 better fit here.

22 So the issue with queuing procedures.
23 So if price declines with quantity or there are
24 quantity caps that apply, then you are going to
25 need to put into place queuing procedures in order

1 to provide generators with price certainty. If
2 you don't bother then you are going to eliminate
3 the primary benefit of having a feed-in tariff.

4 And that creates the desire to minimize
5 speculative queuing that would tie up access to
6 funds. The type of speculative queuing that we
7 see with speculative bidding with the RPS.

8 So the different options that you have
9 to deal with that are having an application fee
10 that might be non-refundable. You pay something
11 to get in line. It's at least something of a dis-
12 incentive.

13 You could have security accompanied with
14 project milestones. So you pay an up-front fee.
15 It would be refundable if the project reaches
16 fruition by a certain milestone date and it is
17 forfeited if a project fails. So that is a dis-
18 incentive to speculative queuing.

19 Another approach, something we developed
20 and used for the New York RPS and is starting to
21 be used in a number of other places. Where you
22 would have some amount of security required and an
23 initial timetable. And a generator could
24 effectively increase the security by an extension
25 of that timetable. Really this helps separate out

1 the meaningful players from those who are just
2 trying to keep a free option. Effectively placing
3 more security at risk, which you will lose if you
4 don't come online. So these are different ways
5 that you can deal with the queuing issues.

6 Pros and cons. The application fee is
7 very administratively straightforward. But if the
8 fee is modest it really doesn't do very much to
9 mitigate or discourage speculative queuing.

10 Security accompanied with a project milestone
11 encourages viable projects if security is
12 sufficiently high. But it is somewhat more
13 administratively burdensome than the application
14 fee. On the other hand it is inflexible. And if
15 a viable project hits a delay outside of its
16 control it could be kicked out of line and that
17 may not be compatible with your objectives.

18 Finally the security increasing in
19 exchange for time extensions creates a very strong
20 incentive to encourage projects that are real and
21 discourage those that are not viable while
22 acknowledging that there are timing risks in
23 development. I have personally certainly found
24 that this approach seems to fit quite a number of
25 renewables situations.

1 If you have got a tariff digression,
2 however, this may fail to discourage deep pocket
3 developers from rushing into the queue if a time
4 extension would expose the generator to a lower
5 revenue. so it becomes a little bit less
6 effective if you are going down that design path.

7 Now other issues associated with credit
8 and performance assurance. You have different
9 general types here, development security. That
10 type of collateral for the period between a
11 contract execution and project operation. For
12 example, the ISOs require development security in
13 the 2008 renewables RFO. It's typically a dollars
14 per kilowatt type of a structure.

15 And then the other category is
16 operational collateral security. And that is
17 security that is in place once a generator starts
18 operating. And that protects the buyer against
19 the cost of replacement energy or RECs or other
20 products in the event that the seller fails to
21 meet its obligation, fails to properly maintain a
22 generator, or seeks to shake the contract because
23 there is a more lucrative market elsewhere.

24 Now feed-in tariffs have traditionally
25 not required development or operational security.

1 It's really been such a different animal that
2 these issues are usually not on the table. And
3 for that reason these issues, which can really
4 increase the cost to a generator. This is one of
5 the areas where a feed-in tariff can lower the
6 cost of generation.

7 The risk is minimal. It's a very
8 different perspective. In an RPS or any kind of a
9 procurement situation where the buyer has a set
10 target and there might be penalties or
11 implications with not having that generation show
12 up, it is very important to be able to know what
13 you can count on.

14 In a feed-in tariff, especially if you
15 are reaching for a stretch goal like 33 percent.
16 And right now it doesn't look like you're going to
17 make it, there's not a lot of risk. You want the
18 generation. Because you are not counting on a
19 specific quantity perhaps the risk is minimal
20 compared to a situation where there is more of a
21 reliance on that obligation. And that is why
22 feed-in tariffs have traditionally not had credit
23 and performance assurance.

24 So pros and cons here. Development
25 security provides protection if the project

1 construction schedule is not met or of the project
2 defaults. And it has a more limited role in
3 addressing queuing issues.

4 There is little risk -- On the con side.
5 Why wouldn't you want to do it? There's little
6 risk of contract failure if the tariff is above
7 the replacement cost of commodity energy.

8 The barrier to small generators and
9 developers can be very large and removing this can
10 really enable a broader array of developers to
11 attempt to bring generation to market without
12 limiting viable projects and increasing their
13 costs.

14 If this is required, one option is to --
15 you could selectively manage your security to
16 encourage or discourage certain technologies. You
17 could decide to have less security applied to, say
18 solar, where you are not relying on -- Or maybe
19 it's building-integrated solar.

20 You can decide where your risk reward
21 relies and decide that for some types of
22 generation you are more reliant on the output and
23 therefore having development security is more
24 important. And for others you may want to
25 eliminate a barrier.

1 Now on the operation collateral or
2 security. Using this type of approach protects
3 the buyers against default or non-performance.

4 And it protects ratepayers in the event
5 that the tariff is front-loaded. If you have a
6 level payment and a situation where today that
7 looks like an over-market cost but down the line
8 that could be an effective hedge if electricity
9 prices go up. You might want to consider having
10 operational security so that that generator
11 doesn't look to bail out of the contract once it
12 becomes attractive to find a more attractive
13 market.

14 On the con side here. A buyer, again,
15 is less reliant on delivery of the power supply so
16 the damages are less than in typical contracts.
17 and overly stringent requirements may create a
18 barrier for smaller generators or developers. Or
19 conversely could increase costs.

20 So we'll ask a number of questions for
21 opinions on that.

22 Quantity and cost limits. An issue that
23 Wilson brought up in a couple of cases. I think,
24 Commissioner Byron, one of your first questions to
25 Wilson got at these issues.

1 What are your options? Why would you
2 consider doing this? Well, your options. you
3 could have a quantity cap based on capacity.

4 Let me step back. Why would you
5 consider having limits? If you were concerned
6 about exceeding your targets you potentially would
7 have limits. If we're looking at 33 percent as a
8 stretch goal there's perhaps not a reason to worry
9 about an overall quantity limit if we think it's
10 going to be a stretch to get there.

11 And certainly given where we are and
12 where that target is, if you are going to
13 potentially have a risk of overreaching you would
14 see it coming a long time ahead and be able to
15 change the policy well before you actually ended
16 up with more than 33 percent renewables, if that's
17 a real fear.

18 Now you may want to have quantity caps.
19 Again, for some of the reasons we talked about
20 before. To keep the single generators from
21 dominating. You may want to have floors to focus
22 the support on specific types of generation. So a
23 quantity cap, you could cap the feed-in tariffs at
24 a specific megawatt capacity amount. Typically
25 this would be applied by generation technology or

1 within a differentiated scenario.

2 You could have a quantity cap based on
3 generation. So you would be looking at the amount
4 of electricity sold. This might be more similar
5 to RPS tiers.

6 You could have a cost cap that could be
7 based on the rate impact. You could have -- But
8 you would need to define whether queuing -- Are
9 you going to allow queuing to take place?

10 Let's say, for example, you do impose a
11 cost cap and let's say it's a percent ratepayer
12 impact. If you hit that cost cap what do you do
13 with other generation if you hit your overall
14 quantity targets? Do you simply terminate the
15 whole policy or do you start creating a queuing
16 process and a waiting list until the rate impact
17 cap no longer applies?

18 Perhaps electricity prices increase and
19 you now are paying less of a premium in the RPS
20 contracts. So a cost cap could apply in certain
21 years and not in others. You have to decide what
22 you want to do before you get there.

23 Pros and cons. A quantity cap based on
24 megawatt capacity limits uncontrolled growth and
25 costs. But it can create market uncertainty,

1 especially when it depends on queuing protocols.
2 So if you are putting a cap in place and a
3 generator is uncertain to whether they are going
4 to get online before that tariff goes away, that
5 is going to undermine the effectiveness of
6 offering their price certainty.

7 A quantity cap based on megawatt hours
8 generation similarly limits uncontrolled growth
9 and cost. Again, it can create the same problem,
10 market uncertainty.

11 Cost caps limits the cost, independent of
12 the capacity and is directly tied to ratepayer
13 impact. But it can be less transparent for market
14 participants and it can create real confusion as
15 to when it would kick in and what would happen if
16 it did kick in.

17 So we will pose some questions there for
18 feedback.

19 The final category that we treated in
20 this Issues Options paper had to do with policy
21 interaction. And this perhaps is the one that
22 some of you are most interested in.

23 How do we integrate the feed-in tariff,
24 if one is to be considered, with the existing RPS
25 framework?

Options include seeing the feed-in tariff as a parallel mechanism to the current RPS solicitation and contracting mechanism. So maybe you don't change a thing in the RPS world but perhaps you would expand the current tariff that's in place right now that applies to smaller projects, simply by removing the 478.4 megawatt cap and having that just a standing price. So while you have the ongoing RPS solicitations you can also have a price for those which is based on MPR or some fraction of MPR that all takers could come under.

In general, it would simply create a different timing opportunity of those generators that might be between cycle. Or there might be some alternatives, some options there to just having the standing price.

Another branch is considering it as a limited alternative to the current contracting mechanism. So you might decide to focus it on only targeting certain types of resources or ownership models. That there might be other policy objectives besides just 33 percent renewables that are in play. The California Solar Initiative, some biomass targets. Would you use

1 this as another parallel tool?

2 So if you consider it in that context
3 you could use an MPR-based approach or you could
4 use the generation cost-based approach while
5 leaving the RPS exactly as it is.

6 The final option is as a replacement for
7 the current mechanism. And that could be either
8 immediately or at some potential time. Or it
9 could be transitioning at some future target. You
10 know, when the RPS has brought us up to X percent,
11 maybe we will get a feed-in tariff beyond that
12 date. That's just the wide range of, the spectrum
13 of potential options and interaction.

14 What are some of the pros and cons of
15 considering this. Well the parallel to the RPS
16 could help create a diverse renewables mix. It
17 could provide a safety net for projects that are
18 unsuccessful in the RPS bidding process that could
19 come back in and decide, well, we know enough now
20 we could, we could lower our price. We would be
21 willing to come in but we didn't succeed before.

22 Again, between cycle opportunities
23 sometimes there may be an opportunistic situation
24 created that does not fit the market timing of
25 solicitations. I don't know how much this applies

1 in California but I've seen this all the time in
2 other states where there are generators that
3 simple -- when they are ready to know what their
4 cost is there is no market there for them.

5 And it could mitigate some of the
6 concerns associated with contract failure.

7 On the con side, the CPUC has stated
8 that feed-in tariffs should not be open-ended,
9 referencing their Standard Offer 4 history
10 resulting in overwhelming response with too much
11 potential supply. I will pose the question, if we
12 are stretching to reach or not on target to meet
13 20 percent and we are looking to meet 33 percent,
14 in this context how real a risk is that?

15 In terms to the approach to limited
16 alternative to the RPS. This would address
17 concerns over open-ended contracting.

18 It could be used to support targeted
19 policy objectives other than just the 33 percent
20 target.

21 It could be used to meet, specifically
22 target certain generation technologies or
23 ownership approaches that are unable to compete in
24 the RPS. And as a result could be used to support
25 diversity of generation resource types and

1 locations.

2 The third branch, RPS replacement.

3 Well, I think we are all aware that the RPS
4 process is a very administratively heavy one.

5 That in theory under some of the feed-in tariff
6 options that we have laid out the feed-in tariff
7 could really be very simple.

8 So one possible benefit is it could
9 streamline, simplify and accelerate the
10 procurement process in California.

11 A cost-based contract or near-term
12 market resources could lock in long-term renewable
13 energy prices potentially below the MPR for the
14 most cost-effective renewables. Some have
15 observed that perhaps some of the most cost-
16 effective resources could come online and be
17 willing to come online at a price below the MPR,
18 but because of the current structure are tending
19 to bid at or around the MPR.

20 So one question is, you know, if there
21 are generators out there that can be profitable
22 for less, is a feed-in tariff the way to target
23 them and lower ratepayer cost? And could that be
24 done? Would be it effective?

25 A con here. It could certainly raise

1 the risk of increased ratepayer costs if the
2 tariff level is set too high and generation
3 developed and delivered faster than policy makers
4 can modify the tariff.

5 And of course the big con is, you know,
6 if it is perceived that RPS is working for what
7 its objectives are then perhaps why touch it.

8 So the opportunities to weigh in on
9 those questions.

10 Another policy out there, interaction
11 with AB 32. Well, we haven't probed into this one
12 very much. It's certainly something you keep an
13 eye on. But ultimately the AB 32 implementation
14 details have yet to be decided so it's hard to say
15 very much about it until that happens.

16 As a general rule, any energy generated
17 from projects receiving a feed-in tariff would be
18 anticipated to be treated in a similar manner to
19 other renewables under AB 32. We haven't been
20 able to say much about it here in Issues and
21 Options but going forward a feed-in tariff is
22 pursued it is something that needs to be
23 considered.

24 Finally, interaction with competitive
25 renewable energy zones. There is very little, if

1 any, experience in the feed-in tariff world with
2 anything like this.

3 So we don't have a lot of obvious
4 options to point to other than you could either
5 not differentiate a feed-in tariff according to
6 where generation is located, in or outside of a
7 competitive renewable energy zone, or you could do
8 it. And if you do it well how do you go about
9 determining what's the appropriate price there.

10 That depends on your objectives. But
11 perhaps it's a way of, some stakeholders have
12 pointed out, the concern of potential exercises of
13 market power within competitive renewable energy
14 zones.

15 Could you determine appropriate tariff
16 prices for individual technologies based on the
17 RETI calculations that are being made today for
18 each renewable zone? There may be a lot of other
19 options here.

20 Again, not something that we are
21 prepared to talk about a lot but something that
22 should be considered. One could use the cost
23 estimates that are being developed in Phase 1 of
24 RETI. Those are relatively wide-ranging,
25 reflecting estimates from inside and outside of

1 California.

2 How applicable are they in making
3 administrative determinations of the appropriate
4 price levels for each renewable energy one. It
5 could be imprecise, complex and unwieldy. But if
6 there are objectives that suggest that that might
7 be worth considering than perhaps that
8 administrative burden is worth considering.

9 So at that point I am going to thank you
10 for bearing with me through this long presentation
11 and invite Wilson up to join me to help field any
12 questions that you may have. Thank you.

13 MR. LEAON: All right, thank you very
14 much, Bob, for that very thorough overview of
15 Issues and Options for Feed-In Tariffs.

16 Let's take a few minutes for questions
17 now. This afternoon, of course, we will have a
18 session devoted entirely to stakeholder comments
19 and we can really delve into these issues in more
20 depth. But if you have a blue card, questions,
21 please turn those in. And we'll start with
22 questions from the dais.

23 ASSOCIATE MEMBER BYRON: Mr. Leaon,
24 Mr. Leaon, thank you.

25 Mr. Grace, very good presentation. I am

1 not sure that you brought a lot of clarity to it
2 but you certainly got rid of the spectrum on all
3 the issues. Unfortunately I need to go chair a
4 meeting here at noon and so I'll be leaving at
5 this time.

6 But I think given what we have seen from
7 the scoping plan from the Air Resources Board this
8 last week there is going to be a great deal more
9 push for more renewables, as you can tell, in the
10 electricity sector. So I am certainly keen on
11 making sure we take full advantage of best
12 practices that we have seen in other countries and
13 elsewhere.

14 And I am counting on you this afternoon
15 to help provide some clarity to that. And at the
16 same time making sure we understand what the
17 Public Utilities Commission's concerns are with
18 regard to the imposition of a feed-in tariff and
19 how that will affect keeping costs down to
20 consumers.

21 So I apologize, I need to leave at this
22 time. Please carry on.

23 MR. LEAON: Thank you, Commissioner
24 Byron, we appreciate your participation today.

25 ASSOCIATE MEMBER BYRON: Thank you.

1 MR. LEAON: Any other questions from the
2 dais?

3 CPUC ADVISOR ST. MARIE: Yes, yes I do.
4 I am Steve St. Marie from the California Public
5 Utilities Commission. I appreciated this
6 presentation very much. This is precisely the
7 kind of presentation that keeps my wife from ever
8 asking me, darling, what did you do at the office
9 today and what did you think about. Because it is
10 so complicated and there is so much to it.

11 But I would like to go back to page 21
12 of this presentation because I think on that page
13 there is the seed of the entire policy implication
14 that is at the end. On page 21.

15 MR. RICKERSON: Could you just tell me
16 what the title of that is?

17 CPUC ADVISOR ST. MARIE: Oh sure. It
18 says, Generation Cost-Based Payments. Generation
19 Cost-Based Payments Pros and Cons.

20 And the first pro and con is that the EU
21 has concluded that it is able to set prices more
22 accurately and effectively than it is to set
23 quantity targets. That is, that is prescient.

24 And the reason that I come back to that
25 is, starting with the idea that up to now I

1 thought that we were talking about feed-in tariffs
2 as an aid to reaching RPS goals. But in fact what
3 we are talking about here is which do we
4 understand better and which would we like to be
5 the independent variable that somebody else -- the
6 dependant variable that somebody else controls.
7 Is it Q or P?

8 The indication of the way that we are
9 talking about feed-in tariffs is that we control P
10 and the outside world controls Q, it comes in from
11 that, okay. I notice that that is precisely the
12 opposite of a cap and trade regime, which we would
13 use for greenhouse gases, to which our renewable
14 portfolio standard is supposed to be an aid.

15 And in cap and trade, of course, the
16 state controls Q and the market determines what P
17 shall be. Am I the first person to notice this
18 incongruity between the way the Europeans look at
19 feed-in tariffs and the way they look at
20 greenhouses gases? Probably not, okay.

21 (Laughter)

22 MR. RICKERSON: No. But I also think
23 they draw a bright line between using a Q-based
24 program or emissions reductions versus a P-based,
25 a price-based, sorry, quantity and trading for

1 reducing versus price-setting for growing a
2 market.

3 CPUC ADVISOR ST. MARIE: Right.

4 MR. RICKERSON: And how financing plays
5 in both of those.

6 CPUC ADVISOR ST. MARIE: So growing the
7 market is not a subsidiary question. It is rather
8 an independent question, separate from how shall
9 we reduce the amount of greenhouse gases. At
10 least in the way that the European regulators and
11 politicians are looking at this.

12 MR. RICKERSON: I think you'd have to
13 ask me what country.

14 CPUC ADVISOR ST. MARIE: Okay, well
15 that's fine. I have another question that relates
16 to that. And fortunately you guys have done such
17 a good job of laying out all of these questions
18 that it is hard to find exactly where it is in
19 here. But in Europe do they have the similar
20 patchwork of investor-owned utilities and publicly
21 or governmentally-owned utilities that are
22 separately regulated through independent parts of
23 law?

24 MR. RICKERSON: I actually don't know.
25 A lot of European countries have some form of

1 competitive, theoretically introduced retail
2 competition. They also have municipal utilities
3 scattered across the countries as well. I am not
4 sure how they all interact.

5 CPUC ADVISOR ST. MARIE: Okay. So
6 therefore we are not really sure whether they are
7 responsible to the same types of regulatory
8 organizations. The reason that I am asking this
9 is, one of the difficulties that we have in
10 California is that the investor-owned utilities
11 are subject to the rule of -- I'm sorry --
12 regulation through the CPUC. Therefore the CPUC
13 is in a position, unfortunately, to impose costs
14 upon them but not upon their neighbors, thereby
15 causing yardstick competition or across the fence
16 competition to be adversely affected.

17 Okay, sorry. I guess I wasn't really
18 asking a question, was I?

19 And on page 62. I'll tell you what the
20 title is on that one in just a moment. That is,
21 Integration into Power Supply of Utilities. It's
22 one of the dark slides. Integration into Power
23 supply of Utilities and Others.

24 MR. GRACE: This one here?

25 CPUC ADVISOR ST. MARIE: That's exactly

1 right. The center box, Pros at the top. Simplest
2 option to implement, no interaction with power
3 supply procurement and management. In that, if
4 all generation is sold into spot markets, who
5 takes the residual loss then? Are you saying that
6 taxpayers would buy this stuff at the P set
7 through the tariff, and then when we sell into the
8 spot markets -- And I am presuming it's going to
9 be a loss because otherwise we wouldn't even be
10 talking about this kind of a program. Who takes
11 the loss then?

12 MR. GRACE: It would be basically all
13 ratepayers.

14 CPUC ADVISOR ST. MARIE: All ratepayers.
15 So Southern California Edison, PG&E and all of
16 the other companies would have to fund somehow or
17 other the losses that occur through the spot
18 trading?

19 MR. GRACE: No, let me try to be clear
20 here.

21 CPUC ADVISOR ST. MARIE: Okay.

22 MR. GRACE: There's still a contract.

23 CPUC ADVISOR ST. MARIE: Yes.

24 MR. GRACE: So you're offering 12 cents
25 a kilowatt hour to so-and-so generator. You are

1 really talking here -- So that payment is clear.
2 You're talking here about what happens with the
3 electricity that's purchased.

4 CPUC ADVISOR ST. MARIE: Right.

5 MR. GRACE: Does each utility have to
6 manage it as part of their own power supply
7 optimization? The quantity that they get --
8 they'd have to purchase elsewhere. The fact that
9 there is this uncertain string means there's
10 greater uncertainty in the quantity that they have
11 to procure elsewhere. So if the utility, having
12 purchased this at 12 cents a kilowatt hour sells
13 it in the spot market and gets --

14 CPUC ADVISOR ST. MARIE: Six.

15 MR. GRACE: Six, then the other six are
16 coming from the ratepayers. Ultimately they are
17 still paying 12 cents. The dollars all settle
18 out. It's really no different between these
19 options. It's really a matter of power supply
20 management and operations.

21 CPUC ADVISOR ST. MARIE: Okay. So the
22 real point of this is not that this is the
23 financial arrangement through which the power is
24 purchased. This is the way that the utility,
25 having purchased the power, should settle its

1 quantity accounts.

2 MR. GRACE: Yes, that's all I can tell
3 you. Most stakeholders really could care less
4 about this. But those who operate the power
5 supply and make those decisions and interact with
6 the ISO care completely because this completely
7 affects their jobs.

8 CPUC ADVISOR ST. MARIE: Okay. Well
9 thank you, those are my questions.

10 MR. LEAON: Okay, any other questions
11 from the dais?

12 ADVISOR TUTT: Yes, just a few, if I
13 may. This is Tim Tutt at the Energy Commission.

14 Again I am going to refer to slides and
15 maybe I'll give the title too. Slide 10,
16 Generator Location. You talk about a variety of
17 options for eligibility for generators to be
18 interconnecting to specific utilities.

19 MR. GRACE: Yes.

20 ADVISOR TUTT: Did you consider
21 something similar to the federal proposal where
22 there would be a California-wide feed-in tariff or
23 interconnection policy? It wouldn't be specific
24 to each utility.

25 MR. GRACE: I think that would really

1 fall into one category or another here. As was
2 pointed out earlier, jurisdiction is an issue. If
3 you have a tariff in all utilities then the
4 question of a generator and a utility without a
5 tariff doesn't apply. So I think that is simply
6 depending on how your defining falls into category
7 or another here.

8 You still have the question of, are the
9 tariffs -- If the tariffs are not different than
10 there is no issue of generators chasing a higher
11 tariff. If they are available everywhere in
12 California then you don't have a question of
13 whether a generator does not have access to a
14 tariff. This whole slide in the example that you
15 have laid out would devolve to inside and outside
16 of California. If you have a tariff in California
17 are generators in other states eligible to avail
18 themselves of it?

19 ADVISOR TUTT: My next question is on
20 the slide that Mr. St. Marie mentioned, the
21 Generation Cost-Based Payments. The EU
22 conclusion, 21.

23 By the way, Steve, I also arrived at
24 that conclusion that there was a question of price
25 versus quantity in what we are discussing here.

1 But my question is related specifically
2 to the EU results. As I understand those results
3 they were comparing feed-in tariff policies in
4 Europe to really kind of volatile REC market
5 policies in Europe. So I guess what I am
6 questioning is whether or not there was an
7 alternative with long-term contracts associated
8 with an RPS that was a part of these results?

9 MR. RICKERSON: You're right, it is a
10 very narrow academic question about tradable
11 versus fixed prices and kind of the risk
12 associated with those. I think when you get into
13 asking would an RPS with long-term contracts --
14 Definitionally that's a little problematic.

15 As Bob just walked through there, the
16 way we mine for a lot of these design choices, we
17 mine for them from actual policies in Europe and
18 around the rest of the world. So once you get
19 into what a feed-in tariff actually is and how
20 long-term contracting interacts with different
21 quantity targets and cost caps et cetera, we could
22 find an exemption in every single one of those.
23 The short answer.

24 So yes, they were taken into account.
25 But necessarily with a competitive benchmark.

1 Laying off that as well.

2 MR. GRACE: And this actually gets on to
3 during Wilson's talk I think he misinterpreted a
4 signal that I had given him here that he had hit
5 the wrong button and gone back to the previous
6 slide to mean he should hurry up and he skimmed by
7 what I think is one of our most important
8 conclusions, right on your point here.

9 Certainly where I personally call into
10 question some of the conclusions, some of these
11 universal, sweeping conclusions that the European
12 Union and the feed-in tariffs are universally
13 better than RPS.

14 If you look at the specifics of those
15 analyses, most of the points were there pointing
16 out why a feed-in tariff is better than an RPS
17 were not criticisms of an RPS generally but of a
18 specific design issue or flaw. Depending on which
19 RPS you were comparing to you might come up with
20 very different answers. So is a feed-in tariff
21 better than an RPS or just that RPS? And that
22 affects our outlook here and I think a little more
23 neutral approach to these two technologies --
24 these two policy approaches.

25 ADVISOR TUTT: Okay. My next question

1 is further along on the slide titled, When to
2 Adjust Price? It's slide 37, I think. You found
3 it, it was just the last one. That one, yes.

4 There was talk there about periodic
5 revisions and periodic review. And I guess my
6 understanding of sort of the German experience
7 currently with solar feed-in tariffs is that they
8 had a schedule of periodic revisions. They have
9 also gone through periodic review. And in fact
10 recently made significant changes in their
11 schedule of periodic revisions. Is that --

12 MR. RICKERSON: That's accurate. In
13 fact, the Germans have both. They have periodic
14 revisions based on time but they also have, every
15 two years, a review where they see how the market
16 is going, which is where we got this latest
17 increase in the PV digression rates.

18 Periodic review is we see -- Most of the
19 Michigan model states that have proposed
20 legislation here in the US haven't had a
21 digression rate but they have had a two year
22 periodic review without a fixed revision schedule.

23 ADVISOR TUTT: Finally, near the end on
24 Integration of Feed-In Tariffs with Existing RPS.
25 I think it's slide 81.

1 MR. GRACE: This one?

2 ADVISOR TUTT: One back I think. Yes.

3 I guess the question I have is, is the option of
4 having a feed-in tariff parallel to the current
5 RPS solicitation contracting mechanism? I think
6 right now we have a current policy of a limited
7 alternative to the RPS with our smaller size feed-
8 in tariffs.

9 In this parallel structure have you
10 looked at what would happen to some of the legal
11 requirements of our RPS such as the current above-
12 market funds policy with a feed-in tariff
13 structure? And I think there's a clause in the
14 law that limits renewable procurement or the
15 requirement for renewable procurement to 20
16 percent at present.

17 MR. GRACE: The short answer is no, we
18 really laid these out as generic alternatives.

19 ADVISOR TUTT: Okay.

20 MR. GRACE: Looking at the specifics is
21 really the next phase of the effort.

22 ADVISOR TUTT: Thank you.

23 MR. LEAON: Okay, thank you, Tim. Any
24 other questions? Okay.

25 Let's proceed to our blue cards. And

1 let's see. The first speaker is Gary Matteson,
2 Mattesons and Associates.

3 MR. MATTESON: A question. This is a
4 comment I have. Should I defer to a later period
5 or should I go ahead at this time?

6 MR. LEAON: Well, why don't you go
7 ahead.

8 MR. MATTESON: Okay. Your report
9 identifies which resources are eligible to receive
10 the feed-in tariff rates. This is page 13 and
11 slides 6 through 15. Resource Type then each
12 Location, Interconnecting Utility and Project
13 Size.

14 I would like to recommend an additional
15 criterion for eligibility, sustainable practices
16 that are based on environment and developmental
17 principles.

18 I have recently been working with the
19 board of directors of the California Biomass
20 Collaborative on certification incentives and
21 market development for a sustainable biomass
22 industry. For that group the principles are
23 greenhouse gas balance, carbon sinks, existing
24 food supplies, biodiversity, land availability,
25 water availability, air quality, local economic

1 development, social well-being of employees and
2 transparency to the public.

3 Many of these concepts are transferrable
4 to the entire revenue -- excuse me -- the entire
5 renewable energy venue.

6 Chapter 8, page 45, or slide 46 of your
7 report states, California policy makers should
8 decide up front what is and what is not included
9 in the tariff, in the feed-in tariff.

10 It is my recommendation that the
11 Environmental and Development Act should be
12 included in the feed-in tariff.

13 The Bureau of Land Management seems to
14 have this concept in line as they are planning an
15 extensive environmental study on large solar
16 plants being placed on public land. Another
17 example is New Hampshire's REC planning where they
18 have placed a moratorium on combustion of
19 construction and demolition waste to fuel energy
20 projects.

21 Kramer, et al. has proposed a set of
22 principles for testing framework of sustainable
23 biomass. I have expanded on this set of
24 principles in my recent paper. Others have
25 proposed principles including 25 By 25 by American

1 Energy Future and the Round Table on Sustainable
2 Biofuels.

3 Slide 74, Chapter 12, of your report
4 states, different forms of credit and security
5 requirements can be imposed to protect against the
6 risk of a new project going forward or non-
7 performing. I would like to have you focus on
8 certification and compliance in the design of the
9 credit and security requirements.

10 I have also developed measurement
11 certification systems with compliant features for
12 the biomass industry. The US Forest Service has
13 also developed a similar system for gaining
14 compliance within the USDA for standards and
15 practice. Again, these features could be applied
16 to all renewable energy services.

17 I agree with your report. A feed-in
18 tariff should be open only to resources and
19 technologies meeting defined, eligibility
20 standards. A feed-in tariff incentive should only
21 be available to renewable energy producers that
22 employ standards and practices which are based on
23 the environmental and developmental principles.
24 Thank you.

25 MR. LEAON: Thank you, Gary. I have

1 three more blue cards. And do we have anyone on
2 WebEx that is requesting to speak?

3 MR. FLESHMAN: Nobody has requested. I
4 can ask them if they have any questions.

5 MR. LEAON: Because what I would like to
6 do is get through these other three cards then we
7 will break for lunch, hopefully by 12:30, and take
8 an hour for lunch.

9 Okay, the next speaker, Liz Merry.

10 MS. MERRY: No, I didn't submit for
11 this, it was for the previous question.

12 MR. LEAON: All right, thank you. Anne
13 Gillette with the CPUC.

14 MS. GILLETTE: I have two questions,
15 actually. The first question, this relates to
16 integration of the resources. I was wondering if
17 you could address whether European countries or
18 the other areas you have spoken about, how they
19 approach planning for the ramp in regulation
20 services, for example, that's needed for these
21 resources when you don't know or have a good sense
22 of exactly when projects are going to come on
23 line. How you plan for all of the services that
24 are necessary to integrate the energy. The ISO
25 has already indicated that for the -- even for the

1 20 percent by 2010 levels we are going to need
2 new, we are going to need additional ramping and
3 regulation services. So I'm wondering if you
4 could address that.

5 MR. GRACE: I think the short answer is
6 we don't know. And it's an excellent question and
7 one that needs to be considered.

8 MS. GILLETTE: Thanks. And the other
9 question relates to what seems to be an underlying
10 assumption. There seems to be an assumption that
11 generators and developers want a standard offer
12 contract. But in our program we actually started
13 with -- in the RPS program we started with a list
14 of standard terms and conditions. It was fairly
15 extensive. And then it's been kind of whittled
16 away at the request of both developers and the
17 utilities. So there seems to be some resistance,
18 actually, to at least certain standard terms and
19 conditions. So I was wondering how much you have
20 kind of vetted the assumption that generators want
21 a standard contract? Or maybe you don't see that
22 to be an assumption.

23 MR. GRACE: I don't think that's an
24 assumption that we have made or not made.
25 Certainly the impetus to consider this in the

1 first place has come from, often from generators
2 that we thought would find a feed-in tariff
3 attractive. The question I guess is, what's
4 involved in the contract. Or even if there is a
5 contract. I think there are situations, it's not
6 always a contract. Sometimes it is a tariff.

7 A lot of the terms and conditions in
8 power contracts are as they are because of the
9 reliance on the products being purchased by the
10 buyer. And it is my expectation that because of
11 the different nature of that reliance equation
12 that a standard contract offering a feed-in tariff
13 is generally going to be perceived as less
14 complicated and less onerous.

15 A lot of the contract terms and
16 conditions that may be challenging to a generator
17 in being standardized are there because of that
18 reliance and may not apply in a situation where
19 that generator is not going to be held to all the
20 same obligations under a contract. So I think
21 it's a good question but it may be a matter of
22 degree.

23 MS. GILLETTE: Thank you.

24 MR. LEAON: Okay, Carl Zichella, Sierra
25 Club.

1 MR. ZICHELLA: Hi again. I appreciated
2 your emphasis on goals and objective and how to
3 structure these things. I am one of the two
4 environmental representatives on the renewable
5 energy transmission initiative.

6 It really struck me that one of the big
7 goals, at least from the environmental community
8 in that process, is to help identify the zones
9 that lead to the quickest build-out of the least
10 controversial projects and the best,
11 environmentally best sites.

12 And a lot of the considerations that you
13 presented seemed to really work across purposes
14 for that, based on the European model. For
15 example, trying to subsidize projects that are
16 based in marginal locations. When we are really
17 interested in limiting the footprint and building
18 and designing the transmission system so we can
19 get the biggest bang in terms of the energy
20 produced from the best, environmentally most
21 responsible places.

22 Here in this state there is a huge
23 amount of state policy on wildlife and land
24 conservation. That's, you know, part of the
25 multiple goals of accomplishing something like

1 this. You need to sort or think more broadly.

2 It's more of a comment than a question.

3 And the design of our feed-in tariff, if
4 we are to go this route, we really need to sort of
5 look at incentives for locating projects in
6 environmentally less-sensitive places with a high
7 payoff.

8 So when we design our transmission
9 system, a feed-in tariff is actually supporting
10 that goal rather than undermining that goal. I
11 think we'll have better public acceptance and more
12 rapid ability to get steel in the ground if we do
13 that.

14 MR. LEAON: Okay, thank you. Do we have
15 any questions on WebEx?

16 (No response)

17 MR. LEAON: No questions on WebEx.

18 Any additional blue cards in the room?

19 (No response)

20 MR. LEAON: Okay, let's try the phones
21 just to make sure that we don't have anybody on
22 the phone. And again, if you are listening on the
23 phone we are going to unmute you. So if you can
24 mute your phones then I'll ask if there are any
25 questions from the phone. Then if you do, unmute

1 your phone and pose your question.

2 Okay, the phones are unmuted. Do we
3 have any questions from anybody on the phone?

4 (No response)

5 MR. LEAON: Okay, hearing none let's
6 break for lunch and let's meet back here at 1:30.

7 (Whereupon, the lunch recess
8 was taken.)

9 --oOo--

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 AFTERNOON SESSION

2 MR. LEAON: Good afternoon. We are
3 going to reconvene the workshop. If we could have
4 our panelists come on up. I apologize for the
5 tight squeeze up here. We will get started in
6 just a moment.

7 This is Mike Leaon again. We are just
8 getting settled up at the front here. We did get
9 a note that V. John White, one of our panelists is
10 running late. Also, is David Hawkins in the
11 audience? Okay.

12 Well, I think since we are running
13 behind time we should go ahead and get started.
14 And are panelists have graciously agreed to come
15 up in front of the room and share their
16 perspective on feed-in tariffs in California. We
17 asked them to take a look at some of the questions
18 that were posed in the Notice and to briefly share
19 their viewpoints. And so with that I would like
20 to open it up for the panel. Does anyone want to
21 volunteer to go first?

22 MR. VELASQUEZ: I'll go first.

23 MR. LEAON: All right. If you could --
24 And as we go along -- I'm jumping ahead of myself.
25 Why don't we have our panelists introduce

1 themselves. Sorry about that. Let's go through
2 name and organization.

3 MR. VELASQUEZ: I'm Joe Velasquez. I'm
4 the director of commercial and industrial services
5 for SDG&E.

6 MS. TRELEVEN: I'm Kathy Treleven from
7 PG&E and I work in state agency relations.

8 MS. BURGDORF: Hi, Marci Burgdorf. I
9 work for Southern California Edison in the
10 renewable and alternative power group.

11 MS. WISLAND: And I'm Laura Wisland. I
12 am an energy analyst with the Union of Concerned
13 Scientists.

14 MR. LEAON: Okay. And what we would
15 like to do here with the panelists. We'll hear
16 their perspectives. We might have a little
17 follow-up on that amongst the panelists and then
18 we'll open it up to questions from the audience.
19 Okay.

20 MR. VELASQUEZ: First of all I want to
21 thank the Commission for inviting SDG&E down here
22 to be able to share its perspectives on this
23 important topic, feed-in tariff.

24 And first of all I want to say that
25 SDG&E supports the use of the feed-in tariff for

1 small, renewable technologies and to promote solar
2 applications.

3 The feed-in tariff for small renewables
4 should be expanded, we believe, as well, beyond
5 wastewater and water customers to all customers of
6 both investor owned utilities and publicly owned
7 utilities in the state of California.

8 It is important that the feed-in
9 tariffs, though however, be designed and applied
10 properly so they produce the results that are in
11 the best interest of our ratepayers.

12 SDG&E believes that a feed-in tariff
13 should be generic and apply to all new small
14 technologies equally. Setting one price puts all
15 technologies on the same footing. That rate could
16 be price differentiated and should be price
17 differentiated.

18 Limiting the feed-in tariff to new
19 facilities would be consistent with the practices
20 in Europe.

21 However, if a feed-in tariff is designed
22 specifically for a technology such as new solar
23 PV, as has been established like in Europe where
24 there is a significant premium that is attached to
25 the rate, then we believe that it would be a

1 mistake to apply that rate to all technologies.

2 In that case you would be -- customers would have
3 to be overpaying for some of the technologies and
4 that wouldn't be in their best interest.

5 SDG&E also believes that a feed-in
6 tariff may be effective in capturing new solar
7 opportunities, such as those from customers who
8 wish to invest in solar PV but do not have the
9 load behind a particular meter or location. The
10 current regulation does not provide them with the
11 incentives to go after that particular
12 opportunity. A feed-in tariff would provide those
13 opportunities and would provide them with the
14 financial incentives for these customers to
15 develop those opportunities.

16 SDG&E also believes that the current 1.5
17 megawatt limit in the Commission's decision
18 implementing AB 1969 is reasonable. Projects less
19 than one megawatt cannot participate in SDG&E's
20 RFO and cannot connect to the Cal-ISO grid.

21 Therefore a feed-in tariff is a
22 reasonable way for these eligible projects and of
23 this size that are located within the utility's
24 service territory to participate in the state's
25 RPS goal and be compensated for their energy.

1 However, systems greater than 1.5 should continue
2 to participate in SDG&E's competitive RFO
3 solicitation process.

4 Providing a feed-in tariff for larger
5 projects eligible to participate in the
6 competitive RFO solicitation would interfere with
7 that RFO process, potentially driving up costs to
8 ratepayers and make resource planning more
9 difficult.

10 SDG&E believes that a formal,
11 competitive RFO solicitation process is a better
12 way to ensure that SDG&E's bundled customers are
13 paying competitive prices for their renewable
14 resources and obtain a resource mix that is
15 consistent with our long-term resource plan.

16 To better ensure that renewable energies
17 procured through a feed-in tariff are quantifiable
18 and can be used for planning purposes, SDG&E
19 believes that feed-in tariffs should require only
20 a full buy-sell arrangement, as it is in Europe.
21 Selling the excess, if and when it is ever
22 available, as currently adopted in the
23 Commission's decision implementing AB 1969,
24 diminishes both the value of the resource to the
25 utilities, customers, and the ability for the

1 utility to use it to meet its resource plan.

2 Until we have more experience with the
3 feed-in tariff the program should be capped at a
4 statewide level proportional to the cap
5 established by the Commission's decision
6 implementing AB 1969.

7 This cap should be adjusted for each
8 utility consistent with their share of the
9 statewide electric load. For San Diego that's
10 about -- if you look at only the IOUs a little bit
11 over ten percent. If you include the publicly-
12 owned utilities it's about, between eight and
13 nine. And the overall program cap would limit any
14 unintended consequences of over-subscription. And
15 we heard some of those consequences this morning
16 from the presentations.

17 SDG&E also believes that participation
18 in the California Solar Initiative should not
19 necessarily disqualify a customer from
20 participating in the feed-in tariff. In our view
21 this is consistent with the current practice of
22 having customers participate in both the
23 California Solar Initiative and the utility's net
24 energy metering program.

25 However, SDG&E agrees with the current

1 policy that customers should not be able to
2 participate in both a feed-in tariff and net
3 energy metering.

4 Lastly, we believe that any feed-in
5 tariffs or policy recommendations adopted and
6 implemented should be adopted and implemented
7 statewide across both investor-owned and publicly-
8 owned utilities.

9 Also any RPS-eligible energy and
10 resource adequacy benefits should accrue to the
11 load serving entity in that service area.

12 And any above-market costs from a feed-
13 in tariff program should be shared by all
14 customers.

15 So just to summarize. A feed-in tariff
16 must be in the best interest of all our customers
17 and applied statewide.

18 A feed-in tariff is ideal for new,
19 renewable systems 1.5 megawatts and below.

20 The competitive RFO process for systems
21 greater than 1.5 can best assure our ratepayers
22 are paying competitive prices for that energy.

23 To provide value a feed-in tariff should
24 require a full buy-sell requirement and any
25 incentives or subsidies of a feed-in tariff should

1 be borne by all customers. Thank you.

2 MS. TRELEVEN: I'm Kathy Treleven, PG&E.
3 Thank you, Commission, for this chance to talk
4 with you today. We appreciate the depth at which
5 you are looking at feed-in tariffs. And we
6 continue to see such tariffs appropriately
7 structured as a useful tool in accessing small
8 renewables, probably under 1.5. Perhaps somewhat
9 larger generators as well to the utility system.

10 But for larger generators, however, PG&E
11 believes that a competitive process remains the
12 appropriate way to add renewables to our system.
13 Not only does the process control -- encourage
14 lower costs but it also allows for tailored terms
15 and conditions. Anne had mentioned earlier today
16 that those tailored conditions might meet the
17 needs of the utility or there might be some that
18 would meet the developer's needs.

19 Using competitive solicitations over the
20 last four years we have contracted with 2500
21 megawatts of renewables. Everyone here knows that
22 there are some challenges getting all of that
23 renewable resource online. But to us those
24 challenges seem far more to be in the transmission
25 area. To the siting area. To be related to the

1 tax structure. And to the escalating cost of
2 materials worldwide. Much more so than the lack
3 of a standard contract for large entities.

4 The objective of whatever feed-in tariff
5 program we pull together should be clear at the
6 outset to figure out what it is we really would
7 like to obtain. In particular I would like to
8 hear the staff and the Commission's ideas about
9 how such a tariff or other changes to contracting
10 structures could lead to parity for the IOUs and
11 the municipal entities in terms of both of us
12 getting to similar targets.

13 As we said last year, there might be
14 some advantage to creating feed-in tariffs for
15 units larger than 1.5 megawatts. I can't tell you
16 what is exactly the right number to -- in which
17 you can balance the tens or hundreds of thousands
18 of dollars associated with negotiating contracts
19 against -- against the needs to tailor contracts.

20 I will mention that 20 megawatt plants
21 and larger have revenues in the annual level of
22 millions of dollars. And those revenues -- And at
23 that level I think all of us believe that the
24 contracting costs are a small percentage of the
25 real costs of getting those plants online.

1 I'm sorry that I haven't been able to
2 provide you with a speaker today that is close to
3 our renewable contracting experience. That may
4 limit what I can respond to in terms of questions
5 but we try our best to respond to everything in
6 our written comments and to other things that come
7 up today. Thank you.

8 MS. BURGENDORF: Hi, Marci Burgdorf with
9 Southern California Edison. Mimicking the
10 statements by the previous two utilities in that
11 we do believe and support a feed-in tariff that is
12 appropriate for small generators. But we also
13 believe in the competitive solicitation process
14 and we should not be developing larger feed-in
15 tariffs that would compete with that process.

16 It has been very successful for us so
17 far. It's very robust and successful. We've
18 talked a little bit about that today. And it's
19 really produced benefits for both the buyer and
20 the seller. It allows us to work directly with
21 the seller. We go through a negotiation process,
22 there's contract terms and conditions that are
23 developed. And that's really what the benefit is
24 in working with generators, larger generators.

25 In any feed-in tariff it's really

1 important that we look at developing the
2 objectives. What are we trying to achieve. For
3 Edison as well the biggest to bringing renewables
4 online is transmission constraints. A large feed-
5 in tariff is not necessarily going to bring those
6 renewable projects online any quicker.

7 What we really should be focusing on is
8 what are the ways that we can improve the siting
9 and permitting processes and what can we do.
10 Those are the kind of things that will help us
11 achieve our goals more quickly.

12 So let's see. So again, in support of
13 the smaller generators. Edison has developed the
14 biomass standard contracts. There's three tiers
15 of projects, up to one megawatt, one to five
16 megawatt and then six to twenty megawatt.

17 We have developed those voluntarily and
18 we would encourage the Commission to encourage the
19 utilities to do more voluntary type of feed-in
20 tariffs that would more appropriately meet the
21 individual utility business objectives and really
22 let us look at what's happening in our specific
23 territories and figure out what are the best ways
24 to address and meet those needs.

25 I can tell you with the biomass

1 contracts, the four contracts that we have signed
2 are all below the five megawatt range. We really
3 feel that up to five megawatts would be
4 legitimate.

5 Typically the smaller generators have a
6 problem competing in the solicitation process.
7 They don't necessarily have the expertise or the
8 resources to be able to compete successfully. And
9 they are the 1.5 megawatt. Anything below 1.5
10 megawatt is limited in competing at all.

11 So the smaller generators can connect at
12 the distribution level. So you are therefore
13 alleviating a lot -- some of the transmission
14 issues.

15 MR. LEAON: All right.

16 MR. WHITE: Well I accepted this
17 invitation to speak with a caveat that the
18 organization that I lead has not developed a
19 formal position on feed-in tariffs because we have
20 been so busy with the implementation of AB 32 and
21 the scoping plan.

22 We are pleased to note that the scoping
23 plan included the recommendation that we and
24 others have strongly advocated for, a 33 percent
25 renewable portfolio standard across all load

1 serving entities by 2020. So that's the number
2 one planning assumption that we are starting with
3 here.

4 The other thing is that we are working
5 on removing the regulatory underbrush, the current
6 California RPS, which has led to the distortion in
7 the market that we see.

8 But before we can get to feed-in tariffs
9 I think we have to have a fundamental reappraisal
10 of the cost and the value proposition for
11 renewables. Because if we don't, we aren't honest
12 with ourselves about what the value of renewables
13 are, then we won't possibly be successful in
14 either a conventional, competitive solicitation or
15 in a feed-in tariff.

16 The problem with the early work done on
17 the feed-in tariff, it was to the market price
18 referent, with no value for the renewable
19 attribute. Nobody in the world does that. That's
20 just like dumb, okay.

21 So we start with the notion that the
22 right place to start talking about renewables is
23 some kind of reference to fossil price, plus RECs,
24 plus other value like time of day and location and
25 so forth.

1 But here it gets to the critical failure
2 of our current procurement process. It's that we
3 have badly misjudged the price of natural gas,
4 okay. We have forecasted the price of natural gas
5 and built those forecasts into our assumptions of
6 how much we could buy renewables.

7 Because the whole California RPS program
8 is based on being sure we don't pay too much for
9 renewables. Which has led to a distorted bidding
10 process. A lot of gaming in my opinion. People
11 bidding projects that aren't getting financed.
12 Which is the principal attribute of the European
13 system as projects get financed.

14 So we start from the proposing that
15 feed-in tariffs are a metaphor for being
16 successful in renewable procurement, okay. Now
17 they have their attributes and they have their
18 critics in terms of paying too much. But the
19 problem in California hasn't been paying too much,
20 other than paying too much for natural gas.

21 And the rate shock that we are headed
22 for later this year, which will be substantial, is
23 not a function of all the RPS contracts that have
24 been signed. It's a function of all the RPS
25 projects that haven't come on line and displaced

1 the gas that they are supposed to displace. So
2 now that the gas price is \$13, now the ratepayers
3 are paying the piper and there's going to be hell
4 to pay.

5 So we begin with that set of facts and
6 circumstances. And then you look at the European
7 model and what people basically said is they erred
8 on the side of getting projects built. Now a
9 couple of features about the feed-in tariff that
10 we understand has been developed in Spain that I
11 think might be appropriate for California. A
12 couple of attributes.

13 One is they are technology-specific.
14 You don't have a feed-in tariff for wind or PV,
15 it's the same as for CSP. All right? Because
16 they have different costs and different value to
17 the ratepayers. So we're looking at technology
18 benchmarks, okay.

19 And if we get rid of the illusion that
20 the price of fossil fuel has anything to do with
21 the cost of renewables, the projected cost of
22 fossil fuel especially, then that's all you've got
23 is technology benchmarks. It's what does stuff
24 cost. What's a fair and reasonable price for a
25 CSP project using a technology like parabolic

1 trofs. What's the projected price and what are
2 the guarantees that go along with some of the
3 other technologies. So that's the kind of world
4 we are going to head for.

5 And in that kind of a world the feed-in
6 tariff has some virtues. Now one thing about
7 Spain that I think is important. It had two
8 attributes that are very different. One, they
9 required deposits for their transmission queue.
10 So none of this getting in the line and waiting
11 and then selling it to somebody else later, like
12 buying tickets. You know, having somebody wait
13 for you in line to buy tickets to a rock and roll
14 show. That's the way the ISO queue has sort of
15 worked up to now. So in Spain you have a million
16 dollar deposit. A million Euro deposit. That
17 kind of sorts the serious from the unserious.

18 And then the second thing they have is
19 they are buying a specific quantity of the
20 resource. So in Spain they had a very generous
21 CSP feed-in tariff. It was 500 megawatts worth.
22 So they got 500 megawatts. And then they said,
23 well okay, that's enough at that price. Let's see
24 what the prices are and so forth.

25 So you end up looking at what things

1 cost and you involve the bankers. See, our system
2 up to now has been utilities and developers.
3 That's who has created our RPS contracts. There's
4 no bankers in those conversations until after the
5 PPA. But the bankers are the ones that determine
6 what gets built, okay.

7 The other thing about a feed-in tariff
8 is that a feed-in tariff allows the utilities to
9 participate. And one of the issues, it's a little
10 subtext in all this stuff. I am very grateful to
11 hear that our friends from the utilities are eager
12 to support competitive solicitation because the
13 world I thought we were living in was mostly
14 bilaterals. And the bilaterals were the ones that
15 didn't apparently have reference to the above-
16 market fund at the PUC. Which means only a dummy
17 is getting the competitive solicitation.
18 Everybody is going to want a bilateral. So what
19 we need is the same.

20 In the meantime what we are getting to
21 the new system, whatever it evolves to, we've got
22 to have equality between competitive solicitations
23 and bilaterals. We have to have no more of this
24 above-market fund and RPS/MPR business. That
25 doesn't have anything to do with anything other

1 than the past, okay. What we have to focus on is
2 how to get these resources built and online and
3 how to pay the best price we can. And how to get
4 that price to be lower by building them bigger.

5 So as we move to that kind of system I
6 think the feed-in tariff becomes an opportunity to
7 experiment a little bit and try some things and
8 see how it works. I do believe you are going to
9 have utility-specific things. But, you know, I
10 actually think we've made some progress in the
11 last year through the Energy Commission's putting
12 us on the agenda, having meetings like this, have
13 an IEPR. Having Edison come forward with the
14 wastewater stuff that gets us some practice.

15 Now we even have Edison proposing its
16 own feed-in tariff for itself with the PV
17 proposal. And I think that's progress. Because
18 if Edison can pay itself \$3.50 a watt to build PV
19 then that must mean that PV is worth \$3.50 a watt.
20 And others that can do that same price ought to be
21 afforded the opportunity to compete at that price.
22 It makes no sense to have only a utility be able
23 to get that price. It makes sense for everybody
24 to get that price because that's what the value
25 looks like and that's their healthy exercise, I

1 think, to look at this.

2 On the other hand, if it were to go
3 forward with no feed-in tariff. Now we have got a
4 legislative bill being discussed, SB 1714 by
5 Negrete McLeod, in which we're talking about
6 raising the allowable for PV. This is like CSI,
7 bigger than CSI projects. So apparently they're
8 talking about going between three and ten
9 megawatts for that program. Now three megawatts
10 is low, five megawatts is what we just heard,
11 maybe five is a good place to start and see how we
12 do.

13 Because I think one of the urgencies
14 that you saw -- If you haven't see the press
15 coverage from Miami you need to see a couple of
16 articles that came in. One is Governor
17 Schwarzenegger's comments about his views about
18 how we should be going and what he's been learning
19 from hearing about the European experience. A
20 quite striking statement I think of where the
21 Governor's head is at.

22 And then the other is the appearance by
23 Hermann Scheer from Germany. Who got a standing
24 ovation, as he often does.

25 I am basically saying, just keep it

1 simple, you know. Give customers the ability to
2 come and put these things on and plug into the
3 grid.

4 Now we have a much more complicated
5 system and I absolutely agree with Edison about
6 the transmission system. We are committed to
7 doing that work, we're part of the RETI process.
8 And I will say that if we get to a list of early
9 stage transmission projects the next thing we are
10 going to need is procurement to fill up that
11 transmission that we are now building, okay. We
12 have got to match the transmission projects with
13 procurement.

14 And if we're in a hurry we shouldn't be
15 afraid to look at feed-in tariffs because they
16 will require ongoing oversight and review. One of
17 the things I think we've seen from the other
18 places that have them. They are very much more
19 transparent than anything like what we have.

20 They have to have debate about what the
21 value is. And maybe the prices that we need to
22 pay to get projects built is something that we
23 need to find out instead of trying to pretend what
24 the price of renewable projects are. We need to
25 find out what the price of renewables are and get

1 about building them.

2 And I think we are at a moment where we
3 can start doing some interesting things. And not
4 throughout the current system because I think
5 we've got a lot of projects in the queue and a lot
6 of contracts being negotiated. We don't want to
7 disrupt that. But when we look post-2010, I think
8 we have an opportunity to do some more creative
9 things than we have been doing and to borrow from
10 the experience in other places and see what works.

11 So those would be some of my thoughts,
12 knowing that there's a lot of caveats. A lot of
13 people in my organization might disavow these
14 comments. But I think these are some of the
15 issues we need to think about and these are some
16 of the choices that we have to concentrate on.

17 MR. LEAON: Thank you very much. And we
18 didn't get a chance to introduce you earlier. V.
19 John White, executive director of CEERT. Thank
20 you for your comments.

21 MS. WISLAND: Hi, this is Laura with
22 UCS. I wanted to first thank the Commission for
23 giving us this opportunity to talk about such an
24 important and timely issue. And like CEERT, UCS
25 is just beginning to form our thoughts and

1 policies on this issue so I look forward to
2 hearing from everybody else.

3 But I did want to share some just
4 general statements. First of all that UCS is very
5 supportive of the existing RPS program and that we
6 look forward to working with the Energy Commission
7 and the Public Utilities Commission to reach our
8 20 percent goal and the stated 33 percent goal.

9 And we feel like a feed-in tariff
10 program may have a place within the existing RPS
11 program but RPS goals have a very important place.
12 They send a significant signal to the market that
13 procurement demand will be there. And that RPS
14 goals should be looked at like a floor and that a
15 feed-in tariff should be designed to complement
16 and actually surpass the stated goals.

17 We also believe that the two main issues
18 slowing down renewable procurement in the state
19 right now are transmission and siting and that
20 feed-in tariffs won't necessarily fix these
21 issues. We do believe that they could
22 significantly reduce transaction costs, which are
23 probably relative -- a bigger relative burden for
24 our smaller developers. So starting something
25 small does make sense. We don't have a specific

1 number.

2 And I also just wanted to reiterate the
3 statement made by Carl Zichella earlier that in
4 moving forward with this transmission process,
5 placing a value on the areas that make sense for
6 transmission, both in terms of a cost perspective
7 but also additional environmental values is
8 important and should be reflected in any tariff.

9 MR. LEAON: All right, thank you very
10 much. I appreciate the insightful comments from
11 our panelists. And before we open it up to
12 questions I did want to give each panelist a
13 chance to amplify their remarks or comment on some
14 of the things that we've heard from other
15 panelists.

16 (No response)

17 MR. LEAON: No? No takers? Okay, all
18 right. You'll have to be subject to grilling by
19 questions now then. Okay, let's go ahead and open
20 it up for questions. First let me ask if we have
21 any questions from the dais?

22 (No response)

23 MR. LEAON: Okay. Do we have any blue
24 cards in the room?

25 (No response)

1 MR. WHITE: No blue cards. Okay. Do we
2 have any WebEx questions?

3 MR. FLESHMAN: I'm checking right now.
4 Nobody is raising their hand, yes.

5 MR. LEAON: Okay. We do have one blue
6 card coming up.

7 MR. LEWIS: Craig Lewis from Green
8 Volts. I have to be careful here because PG&E is
9 a customer of our's and we hope to do business
10 with all the utilities.

11 Green Volts is a solar technology
12 company. We also are vertically integrated, we
13 develop our own projects. And I just -- I think
14 it was hinted to by Marci that there is an
15 opportunity here at the one to 20 megawatt range
16 for a feed-in tariff to help fulfill where we
17 currently have a very large, programmatic gap in
18 California.

19 One megawatt and below is well-covered
20 by the CSI program. Twenty megawatts and above is
21 relatively well-covered by the RPS program. We
22 think that RPS actually satisfies the large
23 projects quite well. But in the one to 20
24 megawatt range, especially where you can
25 interconnect at distribution level voltages, as I

1 think that was Marci's point. There's locational
2 benefits value and there's large opportunities to
3 develop renewables that are currently not being
4 developed. We are not stimulating that part of
5 the marketplace because we don't have programmatic
6 coverage there.

7 It's said that the RPS program fits that
8 part of the market, that market segment, but it
9 really doesn't. The transaction costs associated
10 with navigating through the RPS-RFO gamut are
11 significant. By the time you are done proposing,
12 by the time you are done negotiating, and by the
13 time you are done contracting, you are a couple of
14 hundred thousand dollars -- you could be \$500,000
15 paid out in that process. It's significant.

16 And as a developer I just want to make
17 sure that that point is really well understood in
18 this room. It's a very significant cost. The
19 transaction costs are very significant. A
20 standard offer contract eliminates all that. And
21 as a developer, and speaking for a lot of
22 developers, I don't know any developer that
23 wouldn't want a standard offer contract.

24 There's been some comments earlier that
25 maybe developers don't want a standard offer

1 contract. I don't know a single developer that
2 wouldn't jump at that.

3 MR. WHITE: Maybe we should call it a
4 standard offer contract instead of a feed-in
5 tariff. Because that is actually something that
6 we have some precedent for doing from years ago
7 and it is actually where the bulk of our
8 renewables came from. And it also an idea that
9 actually inspired, one might say, the feed-in
10 tariff approach.

11 So if it's a standard offer for a fixed
12 amount of megawatts and particular attributes,
13 maybe that's the way to think about it.

14 MR. LEWIS: So I don't necessarily have
15 a specific question. I do appreciate all the
16 comments and especially John White's. I think,
17 John, you really provided a perspective that
18 wasn't reflected here and I'm glad you showed up.

19 MR. WHITE: I would urge you to speak
20 with Senator Negrete McLeod's office right away.
21 She has got a live bill that she is negotiating
22 and the numbers are bumping around three percent.
23 The one thing you might want to do is get the
24 PUC's exclusive authority to go as high as 20 once
25 we get the nuts and bolts figured out about doing

1 three to five. Because I think you're right, we
2 don't really know what the right number is other
3 than below 20 probably isn't covered much by the
4 RPS.

5 MR. LEWIS: Yeah. Just in response to
6 that particular comment. There have been a
7 variety of discussions, maybe through another
8 party been in discussions on the SB 1714 is the
9 bill you're referring to. And I think there's a
10 lot of resistance from some of the parties that
11 are involved in that discussion. I think some of
12 the utilities are in that discussion and it has
13 been very difficult to raise that cap.

14 So I don't know if 1714 is going to be
15 the bill that does it but I think that there is a
16 lot of receptivity in the Legislature to get it
17 done next year if not this.

18 MR. WHITE: If you look at the, if you
19 look at the level of urgency that is expressed in
20 some of the public statements that have recently
21 come from the administration -- I think this is a
22 matter of sort of changing the dynamics
23 politically.

24 We're sort of in a different place, you
25 know. We're short on 2010. Some of these

1 projects we're talking about could really help us
2 make up that shortfall in a pretty quick amount of
3 time. I mean, I don't know how soon from adoption
4 of a, shall we call it a standard offer renewable
5 tariff instead of a feed-in tariff. From the time
6 we had adoption of such a tariff, how soon could
7 we get projects in the ground? That would be
8 something to bring to the discussion.

9 MR. LEWIS: I think that point deserves
10 reemphasis. That the one to 20 megawatts will be
11 extremely well-served by a standard offer feed-in
12 tariff contract. I'll combine those two concepts.
13 Because I think the standard rate is also
14 important. So the defined rate and the standard
15 offer are two of the fundamental concepts here
16 that need to be involved in a feed-in tariff
17 program.

18 And this one to 20 megawatts can be
19 stimulated. This marketplace that is currently
20 not being stimulated by programmatic coverage can
21 be stimulated significantly and help California
22 achieve the objectives of the RPS program. And to
23 do it in an area where you have the locational
24 benefits value. You're generating close to load,
25 you're interconnecting at distribution level

1 voltages, and you're providing residual value to
2 the ratepayers above and beyond what they are
3 getting on larger projects.

4 MR. WHITE: Has anybody thought about
5 the munis piece of this? Because my friends from
6 the investor-owned utilities are always going to
7 want equivalent requirements on the municipal
8 utilities.

9 I know that LA has looked at the
10 possibility of sort of combining a CSI rebate
11 incentive with a power purchase agreement
12 combination. And the power purchase agreement
13 would be at a wholesale price that reflected the
14 value of solar. Like what they think CSP might be
15 worth is what the PV guys would get after the
16 first few years of the rebate.

17 It seems that one thought about a feed-in
18 tariff, Energy Commission, since I think you are
19 going to be getting some responsibilities shortly
20 to help oversee the munis' compliance with the
21 new, more robust goal, is to think about how to
22 bring the munis into the conversation. Because
23 the more you ask the IOUs to do the more they are
24 going to want you to be able to say that the munis
25 are facing the same -- provided with those same

1 opportunities.

2 MR. LEWIS: And Edison I think has been
3 very forward in its thinking. It recently applied
4 for the solar PV program at the CPUC. It's a
5 wonderful program, it's a wonderful application.
6 And they definitely got the locational benefits
7 concept nailed down.

8 If you read that application it is very
9 clear that there's significant value from
10 generating close to load and interconnecting at
11 distribution level voltages. So that's one case
12 in point. Edison I guess has been kind of out in
13 the forefront. You also have the -- Marci, I bet
14 it was your idea.

15 MS. BURGDORF: Of course.

16 MR. LEWIS: The Southern California
17 Edison biomass program. It's a feed-in tariff.
18 It goes up to 20 megawatts. Again, a perfect case
19 study. So the evidence is out there that this
20 really makes sense and we just need to get it
21 together here in California and make it happen.

22 MS. BURGDORF: Can I just make a
23 comment, up to the 20 megawatt for the biomass
24 standard contract. Those are three different
25 contracts. So there are specific performance

1 requirements up to 20 megawatt that you don't have
2 with the one megawatt or up to five megawatts. So
3 there are additional provisions that are included
4 as part of that contract.

5 So we are, we are finding that there are
6 some people that would prefer to go through the
7 competitive process because they are able to
8 negotiate terms a little bit better.

9 MR. LEWIS: And I think the pricing is
10 probably the issue because it's MPR. So biomass
11 programs can't make it happen.

12 MR. WHITE: Is it possible to have, to
13 have some equivalent opportunity on that Edison
14 proposal? To have both what Edison is going to do
15 with its own owned projects and then maybe open
16 that up to allow others to participate at roughly
17 the same terms? Because I think one of the
18 virtues of the feed-in tariff in Europe is that
19 it's open-ended and competitive in the sense that
20 anybody can bring a project forward, whether it's
21 a utility or whether it's a private party.

22 And it seems to me that maybe we could
23 do some experimenting with this application and
24 maybe figure out a cap or something that would
25 allow a significant amount of large-scale PV to be

1 provided, both by the utility as well as by the
2 private sector if in fact the terms can be roughly
3 made the same.

4 MR. LEWIS: I think that's a great
5 policy idea. The one caveat I would say is I
6 think the Edison program should be a starting
7 point, not a ending point. Edison obviously --
8 Southern California Edison obviously is a huge
9 purchaser and has significant purchasing power.
10 And they obviously have the opportunity to shop
11 around for the lowest cost, the absolutely lowest
12 cost provider. And this shouldn't be a program
13 that only benefits one company. In other words,
14 the lowest cost provider.

15 So with that caveat in mind I think that
16 the Southern California Edison program is a
17 wonderful starting point and shows the light, so
18 to speak, in terms of how to implement this
19 program. Thank you.

20 MR. LEAON: Thank you very much,
21 Mr. Lewis.

22 MS. TRELEVEN: If I could add something
23 more. Thank you for your comments on transaction
24 costs and the mid-range power plants. I just
25 wanted to emphasize that in my research in

1 preparing for today generally we were focused on
2 the Energy Commission's intention to talk about
3 feed-in tariffs for the larger folks. That it was
4 emphasized, to me, for the larger folks.

5 There were a lot of folks who wanted
6 contract flexibility. You know, in fact, it was
7 reinforced for me today when Anne said the very
8 same thing. Having the perspective of looking at
9 three different utilities' negotiations.

10 But I did want to let you know that I
11 will take these thoughts home. I think we need to
12 do a little more thinking about the mid-range
13 folks.

14 MR. LEWIS: Great. And part of my
15 motivation to come up was to definitely make sure
16 that the developer perspective was reflected.
17 Because I was here for Anne's question and I was a
18 little surprised by it. And I was more surprised
19 by the lack of a firm answer to it, which is
20 developers would absolutely jump at the chance to
21 have a standard offer arrangement here. So I'm
22 speaking after -- I'm very broadly interconnected
23 in the developer community. It's a feature that
24 is desired heavily in the developer community.

25 MR. VELASQUEZ: I just wanted to address

1 a little bit about the cutoff as well. I think
2 that we have just begun. My dealing is mostly
3 with commercial/industrial customers. They are
4 telling me, you know, we want to be able to build
5 solar primarily and be able to sell into the grid.
6 And most of the projects we're looking at, I think
7 primarily all of them, are below 1.5. Of course
8 they are a different type of customer. They are
9 usually an end-use customer and they are building
10 solar.

11 You're talking of investment if you look
12 at the current cost in the, for example in the
13 SGIP program. Which they have a long history of
14 keeping up the cost. Those projects were about
15 \$6,000 to \$7,000 dollars a kW. So we're talking
16 about investments of around 14 to 15 million
17 dollars.

18 That's a significant investment, even at
19 1.5 megawatts. They are significant investments.
20 There is going to be some transaction costs any
21 time that you exceed that amount. But these are
22 not trivial projects. They are rather, fairly
23 large projects.

24 The other thing I think that the feed-in
25 tariffs provide that we're looking at is that

1 customers right now on net energy metering can
2 only see the benefit if they have the load behind
3 it. Some customers say, you know, my load is over
4 here but I have a huge amount of real estate over
5 here. So this is another opportunity.

6 If you keep it at 1.5 megawatts we will
7 still be able to find those types of projects. So
8 I think that you'll see before you want to
9 increase the cap that there's going to be
10 opportunities at this level.

11 The other thing is that SDG&E, if you
12 look at the caps, the previous cap for wastewater
13 was 250 megawatts. I think SDG&E's portion of
14 that was somewhere around in the 23, 24 megawatts
15 because we are significantly smaller than our
16 counterparts to the north. They're four to five
17 times larger than we are. So a 21 megawatt
18 project would probably just saturate our cap. So
19 that's another reason why it might work for Edison
20 and not work for SDG&E. I just wanted to provide
21 those differences.

22 MR. LEWIS: And if I could just respond
23 to that a little bit here. I would say that the
24 argument for -- I assume you're talking about the
25 AB 1969 base feed-in tariff program. And to my

1 knowledge there hasn't been a single project that
2 has even been applied for in that. Maybe Anne
3 could answer that question. I'm not -- Somebody
4 from the CPUC might be able to answer that.

5 Don't know. I'm pretty sure there has
6 not been. And that's pretty strong testimony that
7 it's done work. There are some flaws to the AB
8 1969 base feed-in tariff design.

9 MS. BURGDORF: Actually the contract was
10 just approved about two weeks ago so we really
11 haven't had an opportunity to implement that in
12 terms of signing contracts.

13 MR. LEWIS: Well the CPUC --

14 MS. BURGDORF: The water, the water
15 crest tariff, AB 1969.

16 MR. LEWIS: AB 1969. I think that was
17 more like about six months ago, wasn't it?
18 Somebody?

19 MR. VELASQUEZ: I think there's a
20 decision and then there's implementing tariffs.

21 MS. BURGDORF: Right.

22 MR. VELASQUEZ: And I think the lady
23 from Edison is talking about implementing tariffs.

24 MS. BURGDORF: The implementation of the
25 tariff just came through two weeks ago.

1 MR. LEWIS: Okay.

2 MS. BURGDORF: There's time in the
3 regulatory world --

4 MR. LEWIS: Sure. We can --

5 MS. BURGDORF: -- to move things along.

6 And so --

7 MR. LEWIS: We can watch that. My guess
8 is that based on the way that program is designed
9 there's not going to be a lot of uptake on it.
10 People are way better off just scaling it to one
11 megawatt being behind the meter and going in on
12 the CSI program.

13 So if you're going to make this program
14 viable you need to raise the cap. You need to see
15 if you need to do something with the rate. MPR is
16 not going to attract a lot of solar business, as I
17 think you pointed out there, Joe.

18 But the one to 20 megawatt range is ripe
19 for a feed-in tariff. We can really get it done
20 right in California. And I think it's a beautiful
21 place to start because you can leave the CSI
22 program alone. You can leave the RPS program
23 alone. The RPS program was designed --

24 MR. WHITE: We don't want to leave the
25 RPS program alone because it needs to have some

1 trimming of the underbrush. So I think that we
2 can continue working with what we've got but I
3 don't want to condemn the large projects to the
4 level of uncertainty and performance in terms of
5 delivered megawatts that we have today. And I
6 think that's really important.

7 MR. LEWIS: Sure. My point --

8 MR. WHITE: Because we really need a
9 different, we need to think about what the
10 reasonableness reviews are going to look like.
11 Because ultimately the right benchmark for
12 renewables is not the price of fossil fuel, it's
13 just not. It could be a short-term formula, it
14 could be RPS, it could be MPR plus RECs. But the
15 idea that you are going to sell renewables for the
16 MPR would suggest that you are going to confiscate
17 the RECs and that makes no sense.

18 So I just think -- I understand that we
19 may not be ready to go to a feed-in tariff for the
20 large systems yet. But if we continue to fall
21 behind in terms of delivered projects we ought to
22 look at it at least as a way to jump start certain
23 segments that we really are counting on to deliver
24 lot of megawatts that haven't shown up yet.

25 MR. LEWIS: Yeah, that's exactly my

1 point. The one to 20 megawatts has a huge
2 opportunity to bring megawatts on. And it's a
3 deficient market segment. There's deficient
4 programmatic coverage there. And we've got a
5 great opportunity to bring that programmatic
6 coverage through a feed-in tariff and it can show
7 us the way for expanding that even higher in the
8 future.

9 When I said that the RPS program is
10 providing good coverage to the larger deals, the
11 over 20 megawatt, I'm really talking about the
12 fact that that program is designed to offset 500
13 megawatt combined-cycle gas turbine power plants.
14 Clearly those are large projects and they're
15 transmission interconnected large projects.

16 So at 20 megawatts and below you can be
17 interconnected at distribution level voltages.
18 You can get the advantages of generating close to
19 load. You are avoiding transmission losses on the
20 transmission grid and partially on the
21 distribution grid as well. So I see it as a huge
22 opportunity, one to 20 megawatts a feed-in tariff,
23 standard offer and locked in.

24 MR. WHITE: And -- Excuse me.

25 MR. LEAON: If I can just interject for

1 our panelists, for the folks that are on the
2 WebEx. If you can identify your name when you
3 make a comment it would really help them to keep
4 track of who is speaking.

5 MR. WHITE: This is John White again. I
6 was just going to say that there is some work that
7 was done by the Americans for Solar Power, called
8 the Waterfall Document, that got to some of the
9 behind the meter and the grid benefits of PV. I
10 think that was a very powerful document. And it
11 was very well peer reviewed.

12 The other piece of work was recently
13 done by the fuel cell industry using the same
14 consultant, the same methodology. They looked at
15 the benefits that could be derived from fuel cells
16 in terms of the benefits to the grid.

17 And I think ultimately when you are
18 doing feed-in tariffs you have to get them with
19 the value you're providing as well as the costs.
20 And I think to the extent that we can avoid
21 lengthy proceedings where we have to argue about
22 what the numbers are, to the extent we can use
23 existing data that can help us with the value
24 proposition then that's a good thing.

25 MR. LEWIS: Okay, thank you.

1 MR. LEAON: Excellent discussion. The
2 next speaker, Jaclyn Marks with CPUC.

3 MS. MARKS: Okay. I just want to start
4 off with -- sort of express the concern that
5 generators are building to compete, not building
6 to build. So I pose this question to the
7 utilities. Have you considered solutions? And if
8 so, what are these potential solutions to improve
9 the existing framework within the RPS to address
10 these specific concerns that CEERT mentioned today
11 and how to solicit serious projects from the
12 beginning. So an example would be a higher
13 development security or anything else that you
14 have considered to work within the existing
15 framework but to address these specific concerns.

16 MR. VELASQUEZ: My area of expertise is
17 outside of the procurement area so if there's
18 somebody that's closer to the procurement area I
19 would like them to come up.

20 MS. TRELEVEN: Mine is also outside of
21 the procurement area. However, I am sure that
22 there's sort of a continuous improvement process
23 going on. And actually that the CPUC itself is
24 part of it and our other PRG members are a part of
25 that. I will try to address that question more in

1 our comments.

2 MS. BURGDORF: Well, I'll try to touch
3 on it as much as I can. You know, you're always
4 going to have projects like that through the
5 solicitation process. I mean, that's just a
6 natural part. You're going to have projects that,
7 you know, may not be so serious. And part of our
8 evaluation process is to weed those projects out
9 and make recommendations for the ones that are
10 most viable.

11 So I can tell you that through each
12 solicitation process we learn what works and what
13 kind of projects we're getting, what makes sense.
14 And we make changes to it the next go-round. So,
15 you know, for Edison we go through the least-cost,
16 best-fit analysis. You know, there's evaluation
17 criteria that we build in to each and every
18 project. You know, developers.

19 It's kind of a backward process because
20 a lot of times they get a PPA to actually move
21 forward and to get financing so you're kind of,
22 sort of going in a circle sometimes. But for the
23 most part, you know, we work as closely as we can
24 with the developers. We have contract managers
25 that are on top of each project.

1 So, you know, I guess the best way to
2 answer that is, as we go through the evaluation
3 process we look, there's different and new things
4 that we add to each evaluation to make sure that
5 we are getting the most viable projects.

6 MS. MARKS: Thank you.

7 MR. VELASQUEZ: I want to add one thing
8 too. That spurred a thought. Before coming here
9 I also tried to do a little bit of research about
10 how procurement --

11 MR. LEAON: And please -- I'm sorry.
12 Please --

13 MR. VELASQUEZ: Oh, I'm sorry. I'm Joe
14 Velasquez from SDG&E. That just spurred a
15 thought. Is that, when we asked, how do I get
16 customers to -- or how do I get the offers to
17 actually go through. And as I understand, that
18 through the RFO process there might not be a
19 deposit. I'm not sure if there is one or not.
20 But there is performance-type of conditions that
21 are put on to try to make sure that the projects
22 move.

23 As we saw from the earlier presentation
24 that was put together by the Commission, there's a
25 lot of it being contracted, it's just not a lot of

1 it being developed. So I think that that is
2 probably an area that probably needs to be looked
3 at is performance.

4 MS. MARKS: So from the utility
5 perspective do you believe that the current RPS
6 framework, if improved, can address the concerns
7 that CEERT has expressed today? Or perhaps we
8 need to pose that question to the procurement
9 folks.

10 MR. WHITE: Let me try to anticipate the
11 answer. I think the answer is that the current
12 structure ties the utilities' hands as well as the
13 developers' hands and that everybody is better off
14 with a simpler set of constraints.

15 I think the combination of the MPR plus
16 the above-market fund and the uncertainty around
17 what that cap is or isn't, all of that constrains
18 and it's the wrong lens. I think if we start
19 looking through the lens of what it takes to get
20 projects built and not just contracts signed, then
21 I think we'll get to the right answer.

22 I think the utilities have a lot of
23 experience in the current procurement process
24 about what they would be able to do if they
25 weren't constrained in the way that they are at

1 the moment.

2 MS. TRELEVEN: You know, I would have to
3 say that my sense from the procurement folks is
4 that things are working. Things are working
5 slowly. And that the problems, in a way, don't
6 have much to do with standard offer contracts but
7 have to do with tax credits, interconnection
8 queues, transmission build-out. And that those
9 questions are slowly and deliberately getting
10 resolved.

11 MS. MARKS: Thank you.

12 MR. LEAON: All right, thank you very
13 much. Do we have any more questions in the room?
14 It looks like we have one more.

15 And let me ask, do we have anything on
16 WebEx? No, okay.

17 MR. BROWNING: Adam Browning with Vote
18 Solar again. I just want to address this to the
19 utilities. As you -- I realize you are not
20 speaking from a procurement perspective. But as
21 the levels of renewable market penetration
22 increase, up to 30 percent and hopefully much
23 higher than that, do you see any negative
24 implications of not using a solicitation process
25 but having a standard offer, kind of must-take

1 process? Especially at the high levels of market
2 penetration. Is that clear?

3 MS. TRELEVEN: Maybe I could start it.
4 You had mentioned earlier the intermittency
5 problems that we are already starting to see. And
6 those of us who have been in the utility world for
7 awhile also know of -- have seen two tranches of
8 problems with large standard offer contracts of
9 negotiating situations where we had to buy an
10 awful lot of power at a high price. Of course
11 there are concerns on standard offers. And I
12 think that Bob touched on a lot of those concerns.

13 MS. BURGDORF: This is Marci with
14 Edison. So you're asking, what are the negative
15 implications of not going through the solicitation
16 process?

17 MR. BROWNING: Are there any?

18 MS. BURGDORF: Well, in a competitive
19 process you have a competitive bid and you have
20 competition in terms of pricing and technology.
21 So what we're getting out of the market is what
22 the market can bear and we're getting the best of
23 the best that's available right now.

24 So, you know, I think price is probably
25 -- you know, the price competitiveness is the

1 biggest thing that comes out of that. And you
2 wouldn't necessarily have that with a feed-in
3 tariff. You're creating --

4 MR. BROWNING: But in terms of like grid
5 management issues. It just seems to me,
6 especially at high levels of market penetration
7 and renewables, which are intermittent and non-
8 dispatchable, you are also going to need to be
9 able to manage your non-renewable resources to
10 best complement what you are getting in.

11 And it seems to me that a solicitation
12 process might be a better complement to your
13 overall grid management rather than just throwing
14 it off-route and having to accept everything that
15 comes in, not knowing whether it's going to be
16 overwhelmingly wind, overwhelmingly solar with
17 very different generation profiles.

18 And John too, if you have some thoughts
19 on that.

20 MR. WHITE: In Europe they separate the
21 two or three different kinds of tariffs into
22 specific amounts. So, you know, you're not -- You
23 don't have to like have a must-take for an
24 unlimited amount. That's the first thing.

25 Second is that I think the grid

1 management issues are going to have to get settled
2 anyway. And this has actually been a key issue.
3 There has been a lot of wrangling and posturing
4 about integration costs. And in the end we just
5 need to get all those.

6 The Europeans have integrated large
7 amounts of intermittent resources in the northern
8 part of their grid. The Spanish grid manager is
9 directly involved with the ISO. Excuse me, with
10 the feed-in tariff. That there are significant
11 deposits required in Spain that are not now
12 required here.

13 So I think obviously the grid manager
14 has got to be coordinated. And that would
15 probably be settled more by how much you bought in
16 a given period of time rather than whether you
17 bought it through a standard offer or through a
18 negotiated solicitation.

19 MR. BROWNING: It is almost like using a
20 standard offer offer in more incremental ways that
21 almost resemble an RFO.

22 MS. WISLAND: Can I just add something?
23 This is Laura from UCS.

24 We talked earlier about setting the P
25 and not knowing the Q. So that's the big

1 question. If that's really unknown is that going
2 to cause a lot more uncertainty? I agree that the
3 grid issues are going to have to be hammered out
4 no matter what. But if there's a high level of
5 market penetration is that additional uncertainty
6 going to create more problems?

7 And I think Anne brought up that
8 question and it wasn't really answered. And I'm
9 wondering if there's anyone from the ISO in the
10 room who could talk about this? There's not.

11 MR. WHITE: Unfortunately David is not
12 here.

13 MS. BURGDORF: You know, anytime -- This
14 is Marci with Edison. You know, with a feed-in
15 where we are just buying anything that shows up
16 you run the risk of an over-surplus in certain
17 areas, which absolutely has impacts to the grid
18 and reliability. And if those are intermittent
19 resources you have even other issues that you have
20 to look at.

21 So the competitive process definitely
22 allows us to get a wide range and variety of
23 technologies and sizes.

24 MR. VELASQUEZ: And I think we -- This
25 is Joe Velasquez. I think that we've kind of said

1 this earlier on. You have customized terms, you
2 know. That's what you're allowed to be able to do
3 under an RFO process. Or at least not customized
4 but basically, these are the needs that you need
5 in order to serve your power needs and for
6 performance guarantees. Things like that are
7 going to be able to provide you with what you need
8 when you need it. Price competitive.

9 When I talked to the procurement folks
10 that's what they said for the larger ones. That's
11 the best way they have been able to say. That's
12 the way I can guarantee our customers the best
13 price. We have an RFO competitive pricing option.

14 So that's the other thing. The Q I
15 think was the other element. If you're
16 controlling the P you can't do both. We have a
17 resource plan together. We put together a
18 resource plan. It's a long-term resource plan, a
19 lot of thought had gone into it. How to best be
20 able to procure energy for San Diego.

21 And if you just have a feed-in tariff
22 how do you know that that tariff is going to be
23 able to produce the results consistent with that
24 plan that you built so it optimizes the resources
25 for your area. Again, with the feed-in tariff you

1 really don't have control over the location
2 either. So the location is also I think an issue
3 that has to be considered along with
4 dispatchability like you mentioned.

5 MR. BROWNING: Potentially all things
6 that could be --

7 MR. VELASQUEZ: There's pluses and
8 negatives.

9 MR. BROWNING: -- handled through a more
10 finely tuned feed-in tariff.

11 MR. WHITE: If you look at our task as
12 sort of evolving from when we started, you know.
13 This is John White with CEERT. What we started
14 with was renewables on the side and fossil the
15 centerpiece of our procurement. And with the
16 advent of climate and with the advent of
17 extraordinarily high fossil fuel prices the cost-
18 value proposition of that strategy is getting
19 really, really examined.

20 So if we are going to talk about putting
21 renewable procurement, and particularly large-
22 scale solar in particular, as the center of our
23 matching the peak, the growth with the renewable
24 resources that we can, then the task really
25 becomes how best to get that done. Not whether

1 it's cost-effective.

2 And I think the comment about the best
3 deal for the customers only holds up if the
4 customer gets the renewable energy delivered. And
5 that's the part that has been missing up to now.
6 Now that's not to say that people haven't tried
7 and that people aren't working hard at it. But
8 it's now become too important to leave to just the
9 kind of uncertain outcomes.

10 So I believe that the utilities are
11 capable of performing and being freed up from the
12 RPS process to do better than we are doing now.
13 But I also think that the opportunity to have more
14 tools in the toolbox is something worth looking
15 at, particularly if there's a premium being placed
16 on results.

17 MR. BROWNING: If I may add just one
18 more comment here before stepping down. Marci, if
19 you will allow me to say this without holding it
20 against me too much. But looking forward to
21 seeing your commitment to competitiveness extend,
22 referring to your PV application, extend to that
23 market as well. Definitely I think that that
24 should be open to all market participants.
25 Following up upon your remarks. Thank you.

1 MR. LEAON: All right, thank you very
2 much. The next speaker, Wilson Rickerson.

3 MR. RICKERSON: Hi all. It's been a
4 great panel so far. I just had a -- We've talked
5 a lot about PV and also the one megawatt to 20
6 megawatt. But one of the focuses of the workshop
7 is 20 megawatts and over.

8 And maybe not starting back from PV,
9 what could be the role, or do you see any role,
10 for standard offer contracts, feed-in tariffs for
11 20 megawatts and over. The kind of big projects.
12 And is there some room for near-market resources
13 that are not PV to serve as a hedge and kind of
14 have those serve some kind of hedge value or is it
15 problematic?

16 MS. WISLAND: This is Laura from UCS.
17 Just based on the comments that I heard today from
18 the utilities I don't think at this point that I
19 would say anything over 20 megawatts needs a feed-
20 in tariff right now. It seems like the benefit
21 really is more towards the smaller projects and
22 that we should focus on that first.

23 MR. WHITE: Well, I think we've got to
24 be a little more open. I think in the end if
25 we're focused on RPS performance streamlining,

1 what everybody is sort of collectively working on.
2 This is John White again. I would say that should
3 be the principle focus.

4 But as we look forward into the future
5 and we start looking at the transmission zones
6 that we're identifying through RETI and its
7 successor. And we are going to be looking at
8 areas of the state where we are going to
9 anticipate and want substantial, accelerated
10 investment.

11 And assuming that the grid issues get
12 solved by sort of a direct policy direction from
13 the Governor and the Legislature to get the grid
14 ready for a low-carbon future. And to make the
15 changes necessary to get the ability to ramp and
16 handle the intermittency. Assuming those two
17 things. Then I could see some targeted efforts in
18 areas that are under-represented in the
19 procurement.

20 If we are not getting procurement that
21 results in projects that are constructed, which to
22 me is the principal -- You know, in Spain what
23 they say is that an announcement is for real when
24 the turbine is delivered in the case of CSP. So
25 when the turbines are being delivered and ordered

1 and honest money is being put up then we'll know
2 we're on our way. And until then I think we need
3 to keep the option open.

4 MS. BURGDORF: Thanks for the question.
5 This is Marci Burgdorf with Edison.

6 I think that right now would be
7 premature for us to consider anything above 20
8 megawatts. I think there's a couple of things
9 that we need to look at, one of them being the
10 implementation of AB 1969. Seeing where that
11 goes, how it works in the market. You know, what
12 we're getting out of it and then moving from
13 there.

14 I think we need to go through lessons
15 learned so that we don't have the same type of
16 thing that happened in Germany or in Spain where
17 they had to revamp the market after four and five
18 years. So I think that it makes sense for us to
19 do it in a step-up process if we are really
20 seriously looking at going over 20 megawatts for a
21 feed-in tariff.

22 And if we were to do that, when and if
23 we did that, we really need to consider what is
24 the objective that we are trying to achieve. So
25 are we looking at bringing emerging technologies

1 forward into the market? If that's an objective
2 then we would want to design the contracts
3 specifically to meet that goal. Are we trying to
4 get renewables in a specific area? I think there
5 needs to be a specific objective behind that.

6 And if we do create it there should be
7 performance standards that are built into the
8 tariff. We want to ensure that the projects are
9 there after four and five years so that there's
10 sustainability, that they are being maintained.
11 So these are all things that would be important
12 elements of a tariff for the larger projects.

13 MS. TRELEVEN: I don't think I have a
14 more expansive comment for you. I think our focus
15 now has been on the other problems associated with
16 20 megawatt, getting 20 megawatt and larger plants
17 online.

18 MR. VELASQUEZ: I just wanted to add one
19 comment. It's difficult for me to at least
20 imagine where you would have the systems that
21 would be the same size and either be able to
22 procure them through an RFO and a feed-in tariff
23 at the same time. I would imagine that if you had
24 a feed-in tariff, as you indicate, above 20
25 megawatts, how would that not interfere with your

1 RFO process? How would that not set, let's say,
2 some kind of a floor?

3 Here you have a feed-in tariff with,
4 let's say. You want to make it very simple. Very
5 few terms and conditions. That's the price. Now
6 you have an offering here with terms and
7 conditions. You've basically, at least from my
8 perspective, you've set a floor. And so you've
9 now, I think to some extent, interfered.

10 So it's a little bit difficult for me to
11 imagine. If you are going to have one or the
12 other how do you have systems of that size? I
13 think that's why we came down. It's that anything
14 above this size, and 1.5 in our case, would make
15 sense to pursue through an RFO. Anything below
16 that you pursue through a feed-in tariff. But you
17 don't have them conflict.

18 MR. RICKERSON: Thanks very much. It
19 kind of gets back to that replace, alternative or
20 parallel question. Thanks a lot.

21 MR. LEAON: Did we have any other blue
22 cards in the room?

23 (No response)

24 MR. LEAON: Anybody else in the room
25 care to pose a question?

1 ADVISOR TUTT: Mike, up here.

2 MR. LEAON: Yes, Tim.

3 ADVISOR TUTT: This is Tim Tutt. I just
4 had one question for the panelists, I guess. The
5 feed-in tariff report talked about a variety of
6 things that feed-in tariffs may or may not do in
7 California, including the possibility of feed-in
8 tariffs helping some with transmission problems,
9 helping some with contract failure problems. I'm
10 wondering if the panelists have thoughts on those
11 two areas at all.

12 MR. WHITE: This is John White again. I
13 think the contract failure problem is the one most
14 worth talking about as an alternative. But that
15 requires you to have the conversation of what
16 amount of money you think these projects are
17 worth. And if we have a really bad natural gas
18 price forecast like we had in terms of the future
19 value on prices then I think that's when they
20 impede that conversation.

21 So I think the opportunity, as my
22 colleagues have said, is to make some significant
23 changes in the way we're going about buying and
24 evaluating renewables today. And I think to the
25 extent that the least-cost focus is going to

1 continue to govern this I think then that will
2 sort of keep us in the same place. I think we
3 need to start thinking about the best fit as the
4 more compelling focal point. And I think the best
5 fit can reach into some targeted feed-in tariffs,
6 assuming that you are going to continue to get the
7 grid ready.

8 MS. WISLAND: This is Laura from UCS. I
9 think we need both. I think we need -- I think we
10 need the best fit but I also think that we need
11 least cost within that category.

12 And that, you know, if feed-in tariffs
13 are going to reduce the incentives for renewable
14 developers to submit contracts that don't
15 adequately reflect the costs of their projects.
16 And yeah, that might help with contract failure
17 and that makes sense.

18 I don't understand how it's going to
19 help with transmission. I would love to hear more
20 ideas on that.

21 MR. WHITE: I think that's a separate
22 test.

23 MS. BURGDORF: This is Marci with
24 Edison. I'm not clear how it would help with
25 transmission unless a feed-in tariff somehow

1 improves the process for interconnection or builds
2 transmission faster. I don't see how that is a
3 one answer to that major problem.

4 In terms of contract failure. I am sure
5 there's assurances that it can provide but I don't
6 believe that it's the one answer to stop that from
7 happening.

8 MR. WHITE: Maybe the under 20 megawatts
9 is what helps with transmission.

10 MS. TRELEVEN: This is Kathy Treleven,
11 PG&E. I am going to take a little leap and speak
12 as sort of an amateur procurement person. It
13 seems to me that one of the more compelling things
14 I have heard today is the fit of some sort of
15 special contracting with transmission areas that
16 we are building up. So I will take that back to
17 the people who really do procurement.

18 It seems like ever since standard offer
19 contracts were in place in the '80s there were
20 pockets of areas where you had a lot of churn
21 trying to build a number of projects but nobody
22 wanted to go forward. RETI and other discussions
23 are helping us target those transmission areas now
24 but it does still seem like there might be an
25 opportunity to investigate additional ways to

1 encourage contracting in those areas.

2 MR. VELASQUEZ: We believe there's a big
3 transmission issue with regard to trying to get
4 renewables into San Diego and we have been trying
5 to work on it for a long time now. We think that
6 we really need two solutions there.

7 With regard to contracting. Probably
8 somebody has better experience than I do. I look
9 at a feed-in tariff on one side. If you have a
10 signed contract on the other, why would a banker
11 like one over the other? I'm just not sure. It's
12 the price but not the certainty, you have the
13 certainty there though. Because in terms of
14 certainty, in terms of --

15 CPUC ADVISOR ST. MARIE: Why would the
16 price be different?

17 MR. WHITE: In 1969 the price was the
18 MPR and nobody bid for a feed-in tariff. So a
19 feed-in tariff doesn't guarantee that people
20 build. In Europe the amount of money that the
21 renewables have been paid has been much, much
22 more. So it has taken away a lot of the
23 uncertainty.

24 My assumption as I started with my
25 remarks is that the first thing you've got to do

1 is get the cost value proposition for renewables
2 right. And we have misjudged them. And so a
3 feed-in tariff doesn't change the need to change
4 the adjustment. You could use the existing
5 process in a much different way. And in fact,
6 without regard to the fossil fuel price as your
7 benchmark, which is what I think we're headed for
8 at some point, regardless.

9 CPUC ADVISOR ST. MARIE: This is Steve
10 St. Marie from the CPUC. I think it is worth
11 pointing out that that is a fundamental change in
12 the subject that we are talking about today. The
13 distinction between a feed-in tariff and a
14 contract has not been put to -- it has not been
15 our subject with regard to one being more
16 remunerative than the other.

17 MR. WHITE: It's not a matter of being
18 remunerative. It's a matter that in Europe where
19 we're comparing this to is that they have made a
20 specific commitment and a decision that they
21 wanted to pay a certain amount to be sure they got
22 projects in the ground, and they have. It's not
23 that the mechanism is superior one way or the
24 other. But what I'm saying is up to now, the
25 structure we have been in, compares unfavorably in

1 terms of its results to the feed-in tariff. And
2 one of the elements is the price.

3 CPUC ADVISOR ST. MARIE: So I think that
4 the presentations that we received this morning
5 that were about the various combinations of
6 decisions that go along the way to deciding
7 whether and how to put in a feed-in tariff, we
8 should put in another arrow which would say, pay a
9 lot more.

10 And then I think the whole subject
11 changes and we are no longer talking about whether
12 a feed-in tariff is the superior mechanism or not.
13 We're talking about whether paying a lot more
14 would be a superior mechanism for getting people
15 to put more of the stuff online. And I think it
16 is axiomatic that we would get more stuff online
17 if we were willing to pay a lot more for it.

18 MR. VELASQUEZ: I would accept that.

19 (Laughter)

20 MR. WHITE: I would point out that we're
21 paying a lot more for natural gas and not doing
22 much about it. Let's not think that we not paid a
23 price for the decision.

24 ADVISOR TUTT: Mike, I have another
25 question.

1 MR. LEAON: Okay.

2 ADVISOR TUTT: Mainly for V. John. In
3 terms of we're looking at a feed-in tariff for a
4 particular RETI area, as an example. Maybe it's a
5 wind area. And even in that area there might be
6 some range of costs between one wind producer and
7 another wind producer.

8 The feed-in tariff report talks about I
9 think moderate versus aggressive establishment of
10 the feed-in tariff level. In the aggressive level
11 all of the renewables in that particular area or
12 that particular category would get paid sort of a
13 cost equivalent to the high-cost provider in that
14 area so that you would get a lot of development.
15 Is that what we are talking about here?

16 MR. WHITE: I don't know that I would do
17 a feed-in tariff for wind in Tehachapi as a first
18 place to start looking at feed-in tariffs. We've
19 got a significant amount of long-term contracts
20 that seem to be moving forward. So I think you've
21 got to judge where to start this by what you're
22 missing. And I think you've got it --

23 That's the whole virtue of doing it by
24 targeting is that you don't necessarily give every
25 renewable developer the opportunity to get the

1 same high price. There may be a very good reason
2 for competitive solicitations in certain
3 technology sectors.

4 On the other hand, if you've got
5 technology sectors that are under-represented in
6 terms of the ability to be delivered then you may
7 want to look at them differently. And I think the
8 case of solar is an open question. We have a lot
9 of contracts but we don't have anything under
10 construction.

11 Although I will note that today AUSRA
12 announced in Nevada that they were building a
13 factory with Senator Harry Reed so maybe there's
14 some stuff at least being constructed nearby.
15 Schott is building a factory in Albuquerque for
16 receiver tubes as well. So there's some sign of
17 vendors coming and making a commitment.

18 I still believe that the utilities, if
19 freed from the current strictures, and had it made
20 important to them by the regulators, could do a
21 lot with the existing competitive solicitation
22 process. I don't think having to go to feed-in
23 tariffs is the only way to have performance or
24 better success.

25 But I do think you can target the areas

1 that you're missing or seeing under-represented
2 and see what you get. One of the things about
3 doing this is to sort of see what stuff really
4 costs and decide if you want to pay for it.

5 And I think there is some virtue in that
6 but I also think that the German model is very
7 different than the Spanish model in terms of how
8 they went about it and how much volume they had at
9 what prices.

10 And I think the notion of sort of doing
11 it first with the smaller segments of under 20
12 megawatts, and then taking a look at your
13 procurement reforms that you have already got in
14 place, and then see what the role of benchmarks
15 are. You know, whether you're doing feed-in
16 tariffs or technology benchmarks, you're going to
17 still have to try to look at what stuff costs and
18 what a reasonable and fair price is and then see
19 what the utilities can do in terms of negotiating.

20 And the basic decision about feed-in
21 tariffs is how much of a discretion you want to
22 give the utilities in terms of what they're buying
23 and from who. That's the essence of why they're
24 going to want to probably not have feed-in tariffs
25 for big projects. But it is also if the

1 performance on the competitive solicitation model,
2 the bilateral model doesn't result in stuff coming
3 online, then you need to look at these other
4 opportunities.

5 MR. LEAON: Okay.

6 ADVISOR TUTT: Let's raise one other
7 example as we're talking about the possibility of
8 utility RPS processes being improved to achieve
9 greater performance. Does Texas serve as a model
10 for that at all?

11 MR. WHITE: Well, I was just down in
12 Texas. This is John White again. Texas can pick
13 up 5,000 megawatts online really quickly with a
14 very simple system of both compliance penalties,
15 payments and fairly simple requirements. They are
16 starting to have integration issues there on a
17 fairly large scale. So how high they go beyond
18 where they are is going to end up putting them
19 with some of the same issues we're grappling with
20 in terms of transmission and stuff.

21 I think certainly their initial success
22 is something you want to be grateful that they
23 have done and it was a good example. I think the
24 other thing is just keep looking at other examples
25 and other people's procurement and see who is

1 being the most successful.

2 Nevada got a project online, you know.
3 That wasn't done with a feed-in tariff, it was
4 done with a contract. So I think the key is
5 getting projects built and how you get that done.
6 And I think there's lots of different choices you
7 can get to.

8 MR. LEAON: Okay. Any additional
9 follow-up questions, Tim? Okay. Any other
10 questions from the dais?

11 CPUC ADVISOR ST. MARIE: No.

12 Okay. Do we have any WebEx questions?

13 Let's give the phones a shot. If you
14 are on the phone make sure your phone is muted.
15 We are going to open up the phone lines then I'll
16 ask for questions. And if you have a question
17 unmute your phone and speak up. Okay, are the
18 lines unmuted?

19 MR. FLESHMAN: They are now.

20 MR. LEAON: Okay. Do we have any
21 questions on the telephone?

22 (No response)

23 MR. LEAON: No questions on the phone,
24 okay. Any additional questions in the room for
25 our panelists? All right. Well let's give our

1 panelists a hand.

2 (Applause)

3 MR. LEAON: I want to thank you for
4 volunteering your time. It was a very informative
5 discussion. Thank you very much.

6 Let's take a break until three o'clock.

7 (Whereupon, a recess was taken off
8 the record.)

9 MR. LEAON: Okay, we are going to
10 reconvene the workshop. If everyone could take a
11 seat we'll begin the open stakeholder comments
12 portion of the workshop so we can get you out of
13 here by four, or earlier. Everybody take a seat
14 and let's get started.

15 Okay, this is the portion of the
16 workshop, basically an open comment period for
17 stakeholders. I think for this portion we can --
18 if you haven't spoken before go ahead and fill out
19 the blue card. But if you have, or you filled out
20 a blue card, you don't have to go through that
21 stuff again but please identify yourself when you
22 come up to the podium.

23 In the Notice for the workshop we asked
24 that stakeholders focus on the question areas that
25 were included in the attachment to the Notice and

1 provide comments on those areas and feedback. So
2 with that do we have anyone in the audience that
3 would like to come up and speak?

4 It looks like you may be getting out of
5 here soon. All right, we have one speaker. Come
6 on up to the podium. And if you could provide
7 your name and organization.

8 MS. LYNCH: Yes, I'm Mary Lynch with
9 Constellation. And I just have some just very
10 brief remarks. First I found today very
11 interesting. Lots of really good information
12 about the RPS and where feed-in tariffs might fit
13 in. And was particularly intrigued by what I
14 guess was referred to largely as the GAP analysis
15 for the one to 20 megawatt units.

16 But in my comments I did want to just
17 take a step back. Because as we read through the
18 very good report that the CEC commissioned here it
19 had the section on how this interplays with
20 important Commission policies. And I am mainly
21 referring to the CPUC here.

22 But I just wanted to take a step back
23 and sort of remind all of us that there are a
24 couple of very important Commission policies out
25 there besides the RPS, which the report focused on

1 in terms of interactions of feed-in tariffs. And
2 those policies are a very strong commitment to
3 competition.

4 And it seems to us that particularly
5 with respect to facilities that are larger than
6 the 20 megawatts. And I don't know if 20
7 megawatts is exactly the right number or not. But
8 with respect to the bigger facilities, something
9 like a feed-in tariff seems to us to be very much
10 a command and control approach.

11 And at the end of the day it functions
12 probably not much different than what we're using
13 today with the utility RFOs, which are largely
14 command and control to some extent in that they
15 agree to pay a price for something that we all
16 deem we want, regardless of whether or not the
17 markets are supporting that investment.

18 So I think it is important to keep in
19 mind as we evaluate something like a feed-in
20 tariff to make sure that we have thought through
21 very clearly whether it is consistent with that
22 commitment to competition and the commitment that
23 the Commission has had to increasing competition
24 in the generation sector. Hopefully, according to
25 their policies, moving as far forward as going

1 back to a regime that supports merchant
2 investment.

3 The other policy that the Commission has
4 consistently reaffirmed its commitment to is the
5 policy of customer choice. And in that regard it
6 seems to us that feed-in tariffs, again
7 particularly for large facilities, are not
8 consistent with that policy because they lead to
9 non-bypassable charges. And as we know it's one
10 of the large reasons that direct access is not
11 being reopened now is because of non-bypassable
12 charges. And so I think we want to think long and
13 hard before we implement mechanisms that are going
14 to increase the existence of new, non-bypassable
15 charges.

16 In that regard it also seems that the
17 draft report suggests that we are considering
18 feed-in tariffs largely because we don't have
19 RECs. And I think this has come up somewhat in
20 the discussion. That if we had RECs, and when we
21 have RECs. It appears that we're hopefully moving
22 in that direction, that something like a feed-in
23 tariff hopefully would not be necessary in order
24 to support investment in renewables.

25 That's something that RECs should be

1 able to do and it seems to us to be a much more
2 market-based approach to supporting investment by
3 allowing us to continue focusing on the Q rather
4 than the P. And let the market determine what the
5 most efficient resources are through something
6 like a RECs market. Which of course seems to be
7 very much more in line, at least in our thinking
8 at this point, with a cap and trade regime for
9 carbon.

10 In summary, it seems to us that markets
11 work best to support investment through
12 competition, but it requires very clear rules and
13 a lot of regulatory certainty in order for
14 investors to come to the table with investments
15 that don't rely on regulatory backstop. So we
16 suggest that this evaluation of feed-in tariffs
17 keep those policies of competition and customer
18 choice as much at the forefront as we do looking
19 at how something like a feed-in tariff would or
20 could or doesn't dovetail with an RPS program.
21 Thank you.

22 MR. LEAON: Thank you very much for
23 those comments. Do we have any other stakeholders
24 in the room who would like to make comments?

25 Joe, do we have anyone on the WebEx?

1 MR. FLESHMAN: (Nodded).

2 MR. LEAON: No, no one on the WebEx,
3 okay. No other questions in the room?
4 Let's try the telephones just to make
5 sure.

6 MR. FLESHMAN: They are unmuted.

7 MR. LEAON: Is there anyone on the phone
8 that would like to make a comment? If you can
9 identify your name and organization.

10 No comments from the phone, okay. Once
11 again, any comments in the room? All right, well.

12 ADVISOR TUTT: Mike, Mike. I wasn't
13 going to make a comment as much as a closing
14 comment if you are ready for that.

15 MR. LEAON: We are ready.

16 ADVISOR TUTT: I wanted to thank
17 everybody for coming and to indicate my belief
18 that I think that we are all after, everybody in
19 the room and everybody looking at this issue is
20 after the same basic goal. Which is, in my mind,
21 achieving our renewable targets and policy goals
22 at the lowest possible cost.

23 When we are looking at that we have set
24 up a system of competition in California. What I
25 think we are looking at now is to some degree the

1 tradeoff between the benefits of competition. We
2 all are aware of those. You know, you try to
3 achieve or choose the lowest price contracts in
4 your competition. So you're trying to get low-
5 priced renewables in the ground and working for
6 California.

7 And what I will call the costs of
8 competition. This paper and other work around the
9 globe has identified that there are some costs to
10 competition in the form of risk that add overall
11 to the cost of the procurement picture. There are
12 some transaction costs to competition. We've
13 talked a lot today about how for smaller sized
14 renewables those transaction costs are a higher
15 percentage of perhaps the burden than for larger
16 sized renewables.

17 So that was the tradeoff I wanted
18 everyone to keep in mind. What's the right
19 balance between the cost of -- the benefits of
20 competition and the cost of competition as we move
21 into this may get -- it differs for different
22 renewables. Maybe it differs for different sizes.

23 We are looking for written comments on
24 all this in trying to understand what the policy
25 direction should be moving forward. Thank you.

1 MR. LEAON: Okay, any other remarks from
2 the dais?

3 CPUC ADVISOR ST. MARIE: Thank you, no.

4 MR. LEAON: All right. Well, unless
5 there are any further comments this will conclude
6 our workshop. I want to thank our presenters from
7 the CPUC and from our KEMA contractors and also
8 the panelists. Very informative information.

9 Our next workshop will be scheduled for
10 September 3. I believe that one will actually be
11 a Committee Workshop.

12 We will be taking the information today.
13 The transcript of today's workshop will be
14 available on the website and we will be taking
15 your comments both oral today and written
16 comments. Make sure you do your survey as well.
17 We'll have that up and running as soon as
18 possible, no later than Monday.

19 I appreciate your participation and we
20 look forward to hearing from you and seeing you
21 again at the next workshop. Thank you very much.

22 (Whereupon, at 3:20 p.m., the Committee
23 Workshop was adjourned.)

24 --oOo--

CERTIFICATE OF REPORTER

I, JOHN COTA, an Electronic Reporter, do hereby certify that I am a disinterested person herein; that I recorded the foregoing California Energy Commission Staff Workshop; that it was thereafter transcribed into typewriting.

I further certify that I am not of counsel or attorney for any of the parties to said workshop, nor in any way interested in outcome of said workshop.

IN WITNESS WHEREOF, I have hereunto set my hand this 14th day of July, 2008.

PETERS SHORTHAND REPORTING CORPORATION (916) 362-2345