

COMMITTEE WORKSHOP
BEFORE THE
CALIFORNIA ENERGY RESOURCES CONSERVATION
AND DEVELOPMENT COMMISSION

In the Matter of:)
)
2008 Rulemaking on Appliance)
Efficiency Regulations)
)
Implementation of California Code) Docket No.
of Regulations, Title 20, Section) 07-AAER-3
1601 through Section 1608)
)

CALIFORNIA ENERGY COMMISSION
HEARING ROOM A
1516 NINTH STREET
SACRAMENTO, CALIFORNIA

WEDNESDAY, JULY 16, 2008

2:05 P.M.

ORIGINAL

Reported by:
Peter Petty
Contract No. 150-07-001

DOCKET	
07-AAER-3	
DATE	JUL 16 2008
RECD.	AUG 01 2008

COMMITTEE MEMBERS

Jackalyne Pfannenstiel, Presiding Member

Arthur Rosenfeld, Associate Member

ADVISORS and STAFF PRESENT

Tim Tutt

David Hungerford

Melinda Merritt

ALSO PRESENT

Alex Chase

Energy Solutions

on behalf of Pacific Gas and Electric Company

Gary Fernstrom

Tim Michel

Pacific Gas and Electric Company

Mark J. Sharp

Panasonic

Noah Horowitz

Natural Resources Defense Council

Jon Fairhurst

DR Labs of America

International Electrotechnical Commission

Douglas Johnson

William "Bill" Belt

Consumer Electronics Association

David Klein

JVC

Jerine Ahmed

San Diego Gas and Electric Company

Sempra Energy

Randall Higa

Southern California Edison Company

I N D E X

	Page
Proceedings	1
Opening Remarks	1
Background/Overview	2
Analysis, Standards Options for Televisions	3
Alex Chase, Energy Solutions/PG&E	3
Discussion	34
Utility-Sponsored Incentive Programs for Televisions	45
Tim Michel, PG&E	45
Discussion	57
Presentation: Noah Horowitz, NRDC	59
Discussion	79
Proposal/Comments: Consumer Electronics Association	81
Douglas Johnson	81
William Belt	97
Discussion	106
Schedule	136
Closing Remarks	137
Adjournment	138
Reporter's Certificate	139

P R O C E E D I N G S

2:05 p.m.

PRESIDING MEMBER PFANNENSTIEL: I'm sorry we're a few minutes late, but I think we can get moving. This is the Efficiency Committee workshop on energy efficiency standards, specifically for televisions, that we will address today.

And we have an agenda that's been circulated and do some technical discussion at the outset. So, why don't I turn it over to Melinda to get us started.

MS. MERRITT: Okay. Good afternoon, everybody; I'm Melinda Merritt with the appliance efficiency program staff. And I'm the Project Manager for the 2008 appliance efficiency rulemaking.

First and foremost, I guess I need to go over the standard housekeeping items for everybody. For those of you not familiar with the building, the closest restrooms are located out the door and to the left. There's a snack bar on the second floor.

Lastly, in the event of an emergency and the building is evacuated, please follow our

1 employees to the appropriate exits. We would
2 reconvene at Roosevelt Park, which is kitty-corner
3 to our building. And please proceed calmly and
4 quickly, again following the employees with whom
5 you are meeting, to safely exit the building.

6 So, with that requirement handled, there
7 are copies of the agenda and the workshop notice
8 for today in the foyer, and a limited number of
9 copies of the documents that have been posted to
10 date, and some copies of the presentations that we
11 have received this afternoon.

12 All comments on this subject that we've
13 received so far have been docketed on our website,
14 and we will be posting the slide packs used in
15 today's presentations, along with any additional
16 comments received following today's workshop.

17 This workshop is being recorded and a
18 transcript will be posted within the next two
19 weeks. This meeting is being broadcast over the
20 internet, and anyone wishing to participate by
21 phone may call in the following number: 1-888-283-
22 3870; the passcode is appliance; call leader
23 Melinda Merritt.

24 Without further ado, this workshop is
25 considering possible appliance efficiency

1 standards for televisions in the active mode. And
2 the agenda I have up here on the screen for
3 reference. Our first presentation this afternoon
4 will be from PG&E and Energy Solutions on their
5 analysis of standard options for televisions.

6 With that, Alex Chase.

7 MR. FERNSTROM: So before Alex starts,
8 if I may, I'd like to give a brief introduction.
9 This is Gary Fernstrom representing PG&E. And we
10 all know that California has ambitious
11 environmental and energy efficiency goals for the
12 state.

13 We also know that consumer electronics,
14 particularly televisions, are representing a
15 growing end use in the state of increasing
16 electrical demand and relatively long hours per
17 day of usage resulting in considerable energy use.

18 So, PG&E, the Sempra Companies, San
19 Diego Gas and Electric, NRDC are advocating
20 collectively for what we believe are some modest
21 appliance efficiency expectations for these
22 products. And Alex is going to talk about this in
23 detail.

24 MR. CHASE: Thanks, Gary; and thanks for
25 the opportunity to present today. I have a number

1 of slides today. We're going to officially submit
2 them so they're on the docket. Due to time
3 constraints I won't be able to get into every
4 single one of them. So, for some of them I'll
5 spend some time on. For others, I will simply
6 flash, but they will be available online.

7 What I'd like to do is to give a quick
8 background on the PG&E proposal and endorsed by
9 the other IOUs, provides -- spend some time on the
10 market and energy trends for televisions.

11 Then I'd like to get in specifically
12 talk about some efficiency developments, both for
13 LCD and plasma tvs currently on the market.

14 The next section focusing on LCDs and
15 plasmas, talk about some of the efficiency
16 developments that are being showcased today that
17 as trends continue, it seems will be available on
18 the market within the next couple years to months.

19 Then I'll spend a little bit of time on
20 retail programs and incentive programs. Won't
21 spend a whole lot of time on that because Tim
22 Michel from PG&E will be giving a presentation
23 after me giving some details on the utility-
24 sponsored incentive programs for televisions and
25 other consumer electronics.

1 Then, time considering, we will -- I'll
2 step back and kind of give a broader motivation,
3 as Gary mentioned, the California energy
4 efficiency goals and the greenhouse reduction
5 goals, and try to provide some context for this
6 television standard.

7 Then we'll have some conclusions. I
8 have a full appendix with additional slides that
9 will be available online, as well.

10 Starting out with the television
11 proposal background, PG&E first indicated that it
12 was working on a television case report at the
13 January 15th workshop. Submitted a formal
14 proposal, case report, April 1st of 2008.

15 July 3rd we submitted a revised proposal
16 that is endorsed by all the IOUs. The case report
17 focuses solely on mode power since California
18 already has a standard for maximum standby at 3
19 watts.

20 Just to give a broader sense of what
21 data we relied on to inform our analysis,
22 initially for the April 2008 case report, we were
23 primarily relying on two sets of tv test results.
24 One from the EnergyStar and another set of tests
25 that were performed by ECOS Consulting for the CEC

1 PIER project.

2 Between those two datasets there's about
3 245 datapoints. Since then we've gotten
4 additional datapoints from CNET and then of some
5 datasets from Europe. All total, there's about
6 762 datapoints.

7 Now, I think it's important to note that
8 all the datasets are different. They all have
9 different distribution technologies between LCD,
10 plasma, rear projection, CRTs. The screen sizes
11 are different between all the different datasets.

12 For the most part they all have used the
13 internationally accepted IEC test procedure, with
14 the exception of CNET. The manufacturing date and
15 the availability date, there's a difference
16 between all the different data sets probably
17 ranging anywhere from 2005 all the way to models
18 that aren't available on the market right now.

19 So, all attempts have been made to
20 represent what's available on the market now, and
21 what's available in the near future. We're using
22 these datasets plus some of the efficiency
23 developments that are being showcased by many of
24 the major brands and manufacturers to inform the
25 analysis.

1 The revised proposal is a two-tier
2 standard. We're recommending that tier one is
3 effective January 1, 2011; and tier two is
4 effective January 1, 2013.

5 It is based on the screen area of the
6 television, and it's separated into non-high-
7 definition televisions and high-definition and
8 full-high-definition tvs. The breakpoint there is
9 480 native vertical resolution.

10 With the exception of these proposed
11 levels all the other recommendations in the April
12 case report stand, and continue to make -- to
13 support those recommendations, specifically for
14 using EnergyStar's guidelines for testing and
15 certifying tvs with automatic brightness control
16 and its guidance for testing tvs at factory
17 default settings.

18 This is a graphical representation of
19 the proposal. It also includes the EnergyStar
20 specification which is finalized and will become
21 effective November 1, 2008. So I'll spend a bit
22 of time on this.

23 On the vertical axis is maximum on-mode
24 power. And on the horizontal axis is screen area
25 in square inches. The green line is the

1 EnergyStar line. And you'll see it's kind of a
2 lightning-bolt shape. It starts up, and once it
3 hits about roughly 40 inches, there's a step up in
4 power. And then it's another straight line. And
5 then a greater-than-50-inches, there's another
6 step up.

7 What we've done for tier one is to take
8 kind of the segment for the smaller screen sizes
9 and have continued that slope all the way up.

10 For tier two, again this is just for
11 high-definition televisions. For tier two it's a
12 bit advanced and we're recommending that it
13 becomes effective January 1, 2013.

14 Getting to some market trends, primarily
15 line from a leading market research firm, Display
16 Search. This graph here shows 2006 through 2012,
17 and then unit share is the vertical axis.

18 The green line here that kind of ramps
19 up and then levels off is Display Search estimates
20 for LCD televisions. They show that it's rapidly
21 growing and they estimate that it will flatten out
22 roughly below 90 percent. Plasma displays are
23 showing a relatively flat market share at roughly
24 10 percent. CRTs and rear-projection televisions
25 have been declining and their market shares are

1 minimal. OLEDs are showing opposite trend. Their
2 marketshare is growing, but it's still at a
3 relatively small percentage.

4 So, therefore, when we were assessing
5 energy savings we primarily looked at LCD and
6 plasma televisions since they represent, you know,
7 close to, by Display Search estimates, you know,
8 roughly 97 percent or more of the market
9 specifically when our proposed standards were
10 taking effect 2011 or beyond.

11 The screen size projections, this again
12 is from Display Search, for different regions
13 across the world, North American is the top blue
14 line showing from 2006 to 2012. Display Search
15 estimates that the average screen size is roughly
16 35 inches today.

17 There's some competing views on this.
18 The figure on the left shows a press release from
19 Sharp. They said that they anticipate the average
20 tv size would be up to 60 inches by 2015. The
21 figure on the right is a press release from LG,
22 and they see strong demand for smaller tvs,
23 particularly for second tvs that would kind of fit
24 in places that CRTs normally would not. But now
25 that they have the smaller form factor that, you

1 know, you can put these in the kitchen or in a
2 secondary room.

3 Won't spend a whole lot of time on this
4 graph. This shows television end use growth rate,
5 its various residential end uses. The size of the
6 bubble indicates the relative portion of the end
7 use in a residential application. This is all for
8 the United States based off of EIA 2008 data.

9 The horizontal axis is kind of the
10 average annual growth rate for the last three
11 years, 2005 to 2008. The vertical axis shows
12 projected growth rate between 2008 and 2030.

13 So, generally, the further it gets in
14 the upper right-hand quadrant, shows larger
15 growth. I've highlighted -- the red segments here
16 are largely dominated by consumer electronics,
17 televisions is this dot here. You'll notice that
18 lighting is showing a negative growth between 2008
19 and 2030, largely due to the impacts of the 2007
20 EISA federal energy bill.

21 Based off of an analysis of the dataset,
22 we tried to choose televisions that were available
23 in 2007 or later. This is a linear regression of
24 LCDs in blue, and plasma in red. The yellow
25 dotted line is the proposed tier one level.

1 You'll see the plasmas appears in the
2 red here, generally trending as a much larger band
3 in terms of spread of efficiencies between various
4 models. Of course, plasmas generally tend to be
5 larger size televisions. And the dataset trends
6 show that on average the on mode power is greater
7 than LCDs.

8 LCDs are shown here in the blue. They
9 tend to be a bit more tighter in terms of the
10 spread of offload power as a given screen area.
11 And, again, this is just for plasma and LCDs that
12 do not meet the tier one standard. So we used
13 this as the basis for calculating energy savings.

14 This shows the opposite. This shows
15 televisions that qualify for the proposed tier one
16 level. Right now just LCDs are shown. You can
17 see that there's a number of LCDs that fall below
18 the tier one line. And we use this, again, to
19 estimate savings for LCDs in tier one.

20 Now, I have in bold and red, the figure
21 does not fully reflect the energy efficient tvs,
22 specifically both for LCD and plasma technologies
23 that are currently entering the market and/or
24 being publicly promoted and showcased by several
25 major manufacturers, which is what I want to get

1 into next.

2 There's a balance between assessing the
3 dataset that we have, which relies on tvs that
4 were tested. The tvs were available in 2007 or
5 later. But it doesn't reflect some of the tvs
6 that are entering the market now, and some of the
7 more efficient technologies being promoted.

8 So, this particular section, I want to
9 just briefly touch on just a couple examples of
10 LCDs entering the market now. Philips, the EcoTV.
11 This was awarded the best in show at the January
12 consumer electronics show.

13 They currently estimate a 90 watt on-
14 mode power, which is roughly 56 percent better
15 than EnergyStar and 50 percent better than the
16 original -- or 50 percent, that should say, better
17 than the tier one Title 20 level.

18 Philips -- this EcoTV is now available
19 in three modes -- three models in 42 inch
20 televisions. It's also available in 47 inch and
21 52 inch.

22 Sony released a 32-inch tv that it says
23 achieves industry's highest energy efficiency in
24 the Japanese market. I believe it's referring to
25 the Top Runner program. They claim that it's 89

1 watts power consumption, which is roughly 25
2 percent beyond the tier one level.

3 The plasmas on the market today, I want
4 to spend some time on this section because it's
5 important for some of the recommendations that
6 we're making. Particularly on screen setting
7 impacts of plasmas.

8 So, again, I want to reiterate, these
9 are -- the next couple slides will show plasma tvs
10 that are currently available on the market today.

11 Typically the default screen setting for
12 tvs, also known as kind of the out-of-the-box
13 setting, is set to have a high light output which
14 generally results in a correspondingly high power
15 consumption.

16 Informally, sometimes, this mode is
17 referred to as torch mode. Different
18 manufacturers have names for this. They may refer
19 to it as vivid or dynamic. It's generally ideal
20 for a retail shop setting because it needs to
21 compete with the other tvs in the shop. But it's
22 not necessarily calibrated for the optimal home
23 viewing.

24 So, if you look at specific tvs on the
25 market today, and the difference between kind of

1 this quote-unquote torch settings and some of the
2 better calibrated settings for home use, the
3 difference is significant. It can range anywhere
4 from 27 to 65 percent for the nine plasma tvs that
5 I'm going to show.

6 This is one pathway that plasma tvs on
7 the market today can meet tier one. It's a zero
8 dollar hardware cost pathway. The televisions
9 that I want to show are available from all the
10 leading manufacturers, Panasonic, Samsung, LG,
11 Hitachi, Pioneer, Vizio, Insignia. I'm going to
12 show a couple of them in this presentation, and
13 the rest are shown in the appendix slides.

14 The slides are based off of CNET test
15 results in about 100 or so tests that they've been
16 doing, tv power consumption tests, all the way
17 back to 2006. They started about mid 2007 testing
18 at various screen settings. Right now they call
19 it default-calibrated power save, if there is a
20 specific power save screen setting available on
21 the television.

22 As I noted before, CNET didn't use the
23 IEC test procedure. Primarily because they
24 started testing before it was finalized. But the
25 results are valuable primarily because it's one of

1 the few datasets that we can look at to make some
2 assumptions in terms of what tvs are on the market
3 today. The majority of the datasets we don't know
4 the brand name or model number because that has
5 been scrubbed, particularly for the EnergyStar
6 dataset.

7 So this is useful information. We
8 recognize that the test results haven't been --
9 the tests haven't been collected using the IEC
10 test method. So what we did is we went to CNET
11 and asked them if we could test some of the same
12 televisions using the IEC test method. And we
13 just did that on Monday, and we confirmed that
14 there is a difference.

15 For the plasmas, the trends that we're
16 seeing is generally, if anything, the CNET test
17 results overstate power consumption relative to
18 IEC if they were tested in the IEC test procedure.
19 So these results may overstate, which is generally
20 a good assessment in terms of making some
21 assumptions about whether plasma tvs on the market
22 can meet the tier one levels.

23 As I mentioned, CNET tested about 104
24 tvs. Fifteen plasmas have been tested in these
25 various screen settings, and that's what we based

1 the results off of.

2 Nine of those, 60 percent, would be able
3 to meet the EnergyStar level in a kind of a lower
4 power picture mode, or kind of a better calibrated
5 picture mode. Roughly half, 47 percent, seven out
6 of the 15, would be able to meet the tier one
7 proposed level for Title 20.

8 I won't spend a whole lot of time on
9 this, but if you want to get the specific details
10 in terms of how we're drawing our conclusions, we
11 have it in table form here.

12 A quick example. This is a 50-inch
13 plasma from Hitachi. I should note all the slides
14 I've tried to provide links to where I got the
15 data, so folks can double check.

16 But this is just screen shots from CNET.
17 Shows the product review and then what they've
18 labeled their juice box. At the bottom of each
19 review is the picture setting. So in this
20 particular one you can see on the right there's
21 the onmode watts for default calibrated power
22 mode.

23 And CNET has indicated -- they test
24 roughly between 60 and 80 televisions per year.
25 They've indicated they're going to start using the

1 IEC test procedure going forward. So that will be
2 beneficial in terms of customers understanding
3 power consumption of televisions.

4 I spend a couple -- on this graph so you
5 can kind of get a framework of what we're trying
6 to show here. Again, this is similar to the
7 levels that I showed before. Again, screen area
8 on the horizontal axis, and on-mode power on the
9 vertical axis.

10 I show the EnergyStar tier one level in
11 the blue line; the yellow dotted line is the Title
12 20 tier one. In essence, any television that
13 falls below these lines would qualify for those
14 corresponding levels. If it falls above that
15 line, it would not meet that specific level.

16 So show you the range of how the screen
17 setting impacts on some plasmas. This Hitachi in
18 default mode, the brightest mode or the torch
19 settings, kind of falls just above the EnergyStar
20 level. At a calibrated mode, you know, CNET tried
21 to calibrate this for optimal home viewing. It
22 falls below the EnergyStar level and below the
23 tier one level. At a power-save mode it's
24 significantly less than the tier one mode.

25 This is a 50-inch plasma from Vizio.

1 This one doesn't have a power-save mode, so it's
2 just the default and the calibrated. You'll see
3 in the default mode it falls right on the
4 EnergyStar line. In the calibrated mode it falls
5 a fair amount below the tier one line.

6 And, again, as I mentioned earlier,
7 preliminary results using the IEC test method
8 would probably drop these points even further
9 below the lines.

10 Panasonic has released a 50-inch
11 television in May of this year, I believe. And
12 this is one of the first televisions that's kind
13 of addressing the screen-settings mode. And I
14 think they can be commended for it.

15 When you first plug it in, you know, as
16 a typical user if I went out and bought this
17 television I'd plug it in. And the first screen
18 shot that would come on would ask if I'm in a
19 store or home environment.

20 If I choose a home setting then it puts
21 it in a calibrated mode that's best for home
22 settings. If I choose a store setting it would
23 default to this vivid preset, which would be the
24 brightest mode.

25 So, here's the difference now. Now that

1 it has this forced menu, this home settings kind
2 of becomes the default settings. And clearly it's
3 well below the tier one level. Even at the vivid
4 settings it's below the EnergyStar, but doesn't
5 quite meet the tier one level.

6 So this is, as I mentioned, kind of a
7 zero dollar pathway to meeting tier one levels for
8 plasmas. It's not the only way they can get
9 there, of course, but I just wanted to highlight
10 some of the plasma tvs currently on the market
11 that are starting to do this. As I mentioned
12 earlier there's, I think, six other examples that
13 we show in the appendix.

14 The LCD efficiency developments, I want
15 to showcase some products from major brands.
16 Largely this is taken from the Display Week 2008
17 Conference that was held in L.A. back in May of
18 this year. Manufacturers were proudly displaying
19 their latest televisions and promoting the energy
20 efficiency in those.

21 Here's a couple photos from the
22 conference. And generally, you know, these were
23 prominently displayed right when you walked in.
24 In general, what the manufacturers did was show
25 kind of their conventional television compared to

1 their more advanced energy efficient television.

2 And typically they would show the on-
3 mode watts. And it was a dynamic display. So,
4 depending on the content on the screen, this would
5 adjust. They're showing the same settings. So
6 this isn't necessarily indicative of the test
7 results for if it was tested in the IEC test
8 procedure, but it does show you the dramatic
9 advances in energy efficiency.

10 This is a Samsung 52-inch LCD green tv.
11 You can see the conventional, at this moment in
12 time it was 210 watts compared to 122 watts in the
13 advanced. AUO is a panel maker. They had a 46-
14 inch ecofriendly LCD tv; 252 watts compared to 122
15 watts. Showing the same content.

16 Samsung had a 46-inch LCD with three-way
17 dimming. In this particular content it was 184
18 compared to 48 watts. This is the same tv
19 showing, you know, 184 compared to 109 watts.

20 So the content certainly does impact the
21 onload power, but the relative difference is
22 significant.

23 Upper right is a 40-inch LCD using the
24 3M Vikuity display enhancement. On the left it's
25 showing 195 watts, both -- on the right it's

1 showing 92 watts. On this particular one the
2 brightness remains the same at 350 nits. This is,
3 again, a 32-inch using the same 3M technology
4 showing 60 watts for a 32-inch panel. CMO had a
5 non-high-definition 31.5-inch LCD. Again, about a
6 50 percent reduction, 106 watts for the
7 conventional and 52 watts for the more advanced.

8 Here's another slide of the Vikuity
9 showing kind of what the technology is aiming to
10 do. It's a brightness enhancement film that
11 allows more light out of the LCD and can, in
12 essence, eliminate some of the backlights, and
13 subsequently reduce the power supply power.

14 This is a press release from AUO
15 promoting the ecofriendly LCD tv panel. Due to
16 time I won't get into all the specifics on this,
17 but you can go back and read this.

18 Some folks may not recognize some of
19 these names. AUO is a panel maker. You know,
20 some of their top customers are a bit more
21 familiar to the average person out there. You
22 know, they sell the Sony, Samsung, Philips, LG.

23 CMO was highlighted. Samsungs. These
24 are definitely some of the major panel makers out
25 there and the major brands are buying panels from

1 these folks.

2 So I wanted to show roughly how these
3 televisions would compare to our proposed tier one
4 and tier two levels. These next generation LCDs
5 exceed the tier one level by roughly 28 to 58
6 percent. So, in essence, they're more efficient.
7 And they exceed our tier two levels by 8 to 33
8 percent.

9 So, again, a similar graphic with the
10 EnergyStar level, the tier one level and the tier
11 two level. The small dots are LCD tvs. You see
12 there's a range of them that fall above and below
13 the tier one level, and some below the tier two
14 level. These are all tvs on the market today.

15 These large green dots all represent the
16 televisions that I just showed. So, again,
17 roughly anywhere from 28 -- I'm sorry, for the 28
18 to 58 percent improvements beyond tier one, and
19 anywhere from about 8 to 30 percent improvements
20 beyond tier two.

21 The next section I want to get into some
22 of the showcase products and efficiency
23 developments on the plasma side. Again, we
24 focused primarily on LCD and plasma, as I
25 mentioned earlier, because they definitely are the

1 dominant players with LCD approaching 90 percent
2 market share, and plasma stands steady around 10
3 percent.

4 So then the slides I want to show in
5 particular are the double efficiency technology,
6 also known as the neo PDP, being promoted by
7 Panasonic, the leading plasma brand.

8 Shows similar comparisons of how it
9 would match up with EnergyStar and the proposed
10 Title 20 levels. And then some additional plasma
11 efficiency developments.

12 In the January consumer electronics show
13 Panasonic introduced their next generation plasma
14 displays. In this particular press release it
15 says, the 42-inch prototype has twice the
16 luminance efficiency and provides the same
17 brightness as the existing 42-inch -- full high-
18 definition plasma display panel while cutting the
19 power consumption by half.

20 This is available on the Panasonic
21 website. This is a reference year to 2004. They
22 said, you know, in roughly 2007 they've reduced it
23 almost to a half. And eventually the reduction
24 will reach about one-fourth.

25 Again, this is from the Panasonic

1 website. The footnote says these are expected to
2 be available after the new plasma display panel
3 factory is completed in 2009.

4 So, we did an assessment assuming that
5 the manufacturer claim is correct, that they can
6 reduce the power by 50 percent compared to their
7 current models, we plotted that. So, again, since
8 CNET is really the only dataset that we have that
9 we can particularly pick out a specific brand and
10 model number, we picked out the three 42-inch
11 plasmas that have been tested from Panasonic.
12 They all fall above the EnergyStar and tier one
13 lines today.

14 If you plot a 50 percent power
15 reduction, as they claim, all of them would fall
16 below the tier one level easily.

17 MR. FERNSTROM: Alex, this is Gary from
18 PG&E. Just a clarification question on that last
19 slide.

20 That would mean that in addition to this
21 inherent energy savings, if these sets were
22 factory default to home environment, rather than
23 store environment, the power demand would be even
24 lower?

25 MR. CHASE: That's my understanding. If

1 a representative from Panasonic wants to clarify
2 that, that'd be helpful.

3 There's been certain claims, I'm trying
4 to get a better understanding in terms of what the
5 true reference is. They've made some claims that
6 it's 50 percent beyond current models. So,
7 presuming it's 50 percent, from 2007, another
8 slide I'll show that, you know, 50 percent
9 improvement from 2008 models.

10 So the combination of this technology
11 that they're promoting, with the more calibrated
12 screen settings, you're correct that it probably
13 would drop these results even lower.

14 This is, you know, one of the points
15 that I just showed here, you'll see that,
16 presuming it can get a 50 percent improvement
17 compared to models on the market today. And
18 again, this is potentially over-stated, because as
19 I mentioned earlier, these are CNET test results.
20 And the trend is it's a little bit higher than
21 what you would get using the IEC test procedure.

22 So they're basically sitting right on
23 the tier two level And this is four and a half
24 years before the proposed effective date for tier
25 two of January 1, 2013. So we thought carefully

1 about this, and we recognized the great
2 improvements of efficiency, but wanted to, you
3 know, give adequate time to industry to meet this
4 level. Which is why we chose 4.5 years from now.

5 This is the panasonic television being
6 displayed about two months ago during the CHI-Tech
7 (phonetic) 2008, which is the international high
8 tech expo in China.

9 Similar to some of the previous photos I
10 showed, although the only thing you can read is
11 the 42-inch here. But the conventional on the
12 right, and the more efficient model on the left.

13 The CNET released a story saying, you
14 know, you may have read about Panasonic's Neo-PDP
15 plasma technology, may even have caught a glimpse
16 of the prototypes at January's consumer
17 electronics show in Las Vegas. Well, we now have
18 news that they could be coming to an electronics
19 store near you as early as June 2009, according to
20 a spokesperson at the recent Panasonic Tokyo/Osaka
21 tour that CNET-Asia was invited to.

22 Again, if anyone's from Panasonic here
23 that wants to correct that, that would be helpful.
24 But again, indications are that these new
25 efficient panels will be available basically next

1 year. Several years before tier two would become
2 effective, as we're recommending.

3 This is a slide from a President of
4 Panasonic, given in February 2006, highlighting
5 the same technologies I just showed. A couple
6 things I just want to mention is they're promoting
7 that this, you know, they're using new materials,
8 new processes, new design and new drive. And, you
9 know, they're claiming that it results in energy
10 savings, higher image quality, ultra-large screen,
11 thin profile and lower cost.

12 Pioneer and Panasonic just merged a
13 couple months ago. And in this particular article
14 the partners hope to create, by 2010, a large-
15 screen, PDP tv whose power consumption will be
16 slashed by two-thirds, compared to PDP's tvs of
17 2007. While infinitely increasing contrast and
18 reducing thickness to less than an inch.

19 So, again, this is, you know, some press
20 releases say 50 percent beyond 2007. This
21 particular one says slashed by two-thirds compared
22 to 2007. So, it's not complete clear what the
23 baseline is, but it's pretty evident that they
24 have some pretty commendable efficiency
25 developments that they're showcasing.

1 There's more slides in the appendix
2 showing efficiency developments across the
3 industry, as well, if you're interested in seeing
4 those.

5 So, how do retailers fit into this? You
6 know, our sense, looking at the trends, is some
7 will use their purchasing power to move the market
8 towards higher efficiency. And others will be
9 incentivized to sell these energy efficient
10 televisions by participating in incentive
11 programs, which will be discussed in the next
12 presentation by PG&E Program Manager Tim Michel.

13 One example is WalMart. This is taken
14 from the CEO of WalMart, Lee Scott, in his address
15 to the company in early 2008. They've announced
16 some pretty dramatic goals in terms of where they
17 want their suppliers to be by 2010.

18 One of those they specifically mentioned
19 that they want by 2010, the flat panel televisions
20 will be 30 percent more efficient. So, again,
21 some of the major retailers are pulling the market
22 this way, as well, which will kind of pave the
23 way, so to speak, for industry to meet these
24 proposed tier one and tier two levels.

25 Stepping back to provide some kind of

1 higher level motivation in regards to the
2 California efficiency goals, and the greenhouse
3 reduction goals. Wanted to provide some context
4 of where this television standard could help the
5 State of California to meet those goals.

6 As a lot of folks know, and, of course,
7 the Commissioners know, AB-32 established that
8 California would need to be at 1990 levels by 2020
9 in terms of emission levels. The electricity
10 sector is going to be responsible for about a
11 quarter of those goals.

12 Interesting fact that I pulled out of a
13 recent report, on a per capita basis this would
14 basically mean we're generally around 14 tons of
15 carbon dioxide per person right now. To meet this
16 goal we'd need to get down to about 10 tons per
17 person by 2020. Fairly ambitious.

18 Again, a lot of folks know, CARB is
19 responsible, the California Air Resources Board is
20 responsible for developing a plan of how
21 California's going to get to AB-32 goals. This
22 was released in June 2008. It's the discussion
23 draft. It's called The Climate Change Draft
24 Scoping Plan, pursuant to AB-32.

25 In the executive summary they list some

1 of the key elements of the plan to reach 1990
2 levels by 2020. It's notable that the first
3 bullet point is the expansion and strengthening of
4 existing energy efficiency programs and building
5 and appliance standards.

6 Getting a bit more detailed, they lay
7 out on a sector-by-sector basis what the reduction
8 goals are. Total across California there needs to
9 be 169 million metric tons of CO2 equivalent by
10 2020.

11 26.4 or 15.2 percent of that total goal
12 is roughly slated from energy efficiency,
13 including appliance standards. Doing some
14 potential statewide energy savings from this
15 recommended tier 1 and tier 2 levels. If tier 1
16 and tier 2 become effective, there's a potential
17 to get about 3.5 million metric tons of CO2
18 equivalent reduction.

19 This 3.5 is roughly 2 percent of the
20 total AB-32 goal, and about 13 percent of the
21 energy efficiency component of that total.

22 Some folks have seen this slide, as
23 well. This is a study conducted by McKinsey in
24 2007. This is particular for the U.S., but it,
25 you know, certainly applies to California.

1 They did an assessment of all different
2 strategies to reduce greenhouse gases. And they
3 did it based off of total potential in terms of
4 CO2 reductions. And then the actual cost to
5 achieve that.

6 Anything that falls below the horizontal
7 line they indicate could be achieved at a negative
8 cost to society. Residential electronics and
9 commercial electronics are notably on the very far
10 left there. So, McKinsey is recognizing this as
11 one of the most cost effective pathways to
12 greenhouse gas reductions.

13 The California long-term energy
14 efficiency strategic plan which was finalized just
15 recently in July, they lay out a vision for codes
16 and standards providing a broad range of
17 aggressive and continually improving energy codes
18 and standards.

19 They lay out some goals to achieve that.
20 One of the near-term goals in 2009 through '11
21 specifically is to expand Title 20 to cover
22 additional plug loads such as copy machines,
23 printers, battery chargers and televisions. So,
24 again, this falls in line with some of the
25 statewide goals here.

1 Some of the broader goals. They have a
2 three-part vision, all cost effective, reliable
3 and feasible energy efficiency measures and
4 actions are implemented in integrated systems, the
5 whole-building approach.

6 Strategies, programs, measures,
7 institutional structures must provide long-term
8 energy savings and energy efficiency will generate
9 significant reductions in greenhouse gases.

10 We feel the television standard
11 addresses all three of these strategic visions
12 laid out by the state. There's --

13 PRESIDING MEMBER PFANNENSTIEL: May I
14 just check something?

15 MR. CHASE: Yes.

16 PRESIDING MEMBER PFANNENSTIEL: On this
17 slide, before you say the energy efficiency
18 strategic plan is final. I thought it was just a
19 draft; I thought it came out in draft yesterday.
20 Or a couple days ago.

21 MR. CHASE: You're probably correct. On
22 the website it says final.

23 PRESIDING MEMBER PFANNENSTIEL: Oh,
24 okay, thank you.

25 MR. CHASE: Part of that plan, there's

1 four big bold initiatives. Two of them, I think,
2 tie into this proposed tv standard. One is that
3 all new residential construction in California
4 will be zero net energy by 2020. And all new
5 commercial construction in California will be zero
6 net energy by 2030.

7 A majority of these savings will be in
8 residential applications, but the trend is, as
9 most people probably know, is more and more
10 commercial applications, bars, hotels, are buying
11 televisions. Usually they're the larger size
12 televisions, and they're operated for longer.

13 Just some quick conclusions.
14 Televisions represent prominent and growing source
15 of end-use energy consumption. Current growth
16 rates indicate that televisions are on a
17 trajectory to become a dominant, and in some
18 cases, the leading residential end use.

19 Addressing this load growth with
20 performance standards is a necessary approach for
21 California to achieve its ambitious energy
22 efficiency and greenhouse goals.

23 Tvs on the market today can meet and
24 exceed the proposed tier one level. This includes
25 tvs at various sizes, functionality and technology

1 types.

2 Adopting a two-tier standard enables
3 California to take advantages of the advanced
4 technologies entering the market and currently
5 being promoted, as I showed.

6 These technologies can meet or exceed
7 tier two levels today. And, as I mentioned
8 earlier, industry would have about 4.5 years to
9 prepare for those effective dates in 2013.

10 So, in sum, by implementing this two-
11 tier standard, California will certainly lead the
12 nation and the world in advancing market
13 transformation towards the most efficient
14 televisions.

15 And that concludes my presentation.

16 PRESIDING MEMBER PFANNENSTIEL: Thank
17 you, Alex. Excellent. Questions?

18 ASSOCIATE MEMBER ROSENFELD: Excellent
19 presentation. I just wanted to make a
20 philosophical comment. These are very encouraging
21 numbers; the fact that power uses are coming down.

22 In 1974 when people first started
23 thinking about energy efficiency, a 15-foot
24 refrigerator used 200 watts. The standard that
25 came into effect in the late '90s was 18 cubic

1 feet and 40 watts. So it came down to a quarter.
2 Let's sort of hope this is a challenge to the
3 manufacturers that we can see the same sort of
4 wonderful progress in tvs.

5 But it's interesting now we're
6 discussing a field in which refrigerators are
7 almost insignificant compared to tvs.

8 PRESIDING MEMBER PFANNENSTIEL: Tim.

9 MR. TUTT: Yeah, Alex, I just had a
10 couple of questions. First, related to the whole
11 concept of changing settings, it's my
12 understanding, can you confirm, that the energy --
13 the IEC test procedure requires televisions to be
14 tested in the default setting?

15 MR. CHASE: That's correct. .

16 MR. TUTT: And who determines the
17 default setting?

18 MR. CHASE: If anyone in the room or on
19 the phone can correct me, but my understanding is
20 when a television is taken out of the box, that's
21 the default settings.

22 MR. TUTT: So it's determined by --

23 MR. CHASE: If the lab technician is
24 using a television that the screen settings have
25 already been adjusted, then they need to put it

1 into what they determine as most likely the
2 default screen settings.

3 MR. TUTT: So the --

4 MR. CHASE: Looks like a gentleman here
5 had a more specific answer on that.

6 MR. SHARP: My name's Mark Sharp with
7 Panasonic. My understanding is that the IEC test
8 procedure allows you to use, as a default setting,
9 the lower consumptive mode. It doesn't require
10 you to use that, but in order to meet EnergyStar,
11 as a practical matter most manufacturers will opt
12 to use the lower consumptive mode in order to help
13 them achieve that level.

14 MR. TUTT: Okay. I guess my other
15 question there was how many different settings are
16 there typically. And you mentioned in one slide,
17 you know, calibrated at home.

18 Is there a bar setting? Or does it vary
19 by manufacturer?

20 MR. CHASE: It varies by manufacturer.
21 You know, some folks have movie settings, vivid,
22 home, store, standard. I imagine some of the
23 folks from industry here could probably give a
24 better answer in terms of how many different
25 settings there are, and how those are determined.

1 MR. TUTT: And presumably there is a
2 lowest setting for each television that might
3 correspond to home, or might correspond to power
4 save. Is it PG&E's proposal that the default
5 should be established at that lowest setting? Or
6 is it some other version of the default?

7 MR. CHASE: Well, you know, we
8 highlighted a couple plasmas on the market today
9 that could meet the tier one level by just simply
10 adjusting those screen settings. We're not saying
11 that's the only pathway that they need to achieve
12 that.

13 The research, in my understanding, is
14 that in the dynamic or the vivid or the torch
15 settings it might be ideal for retail, but it's
16 generally not ideal for a home setting.

17 So, I think generally what we would like
18 to see as one of the things that comes out of this
19 is that kind of industry follows Panasonic's lead
20 where when you plug it in it asks you if you're in
21 a home or store environment. And then if you
22 choose home, it puts it in kind of an optimal home
23 requirement. It turns out that it's generally a
24 lower power setting and can achieve the tier one
25 levels.

1 MR. TUTT: You talked about the settings
2 issue in relation to plasma tvs. Is there a
3 similar kind of setting structure for LCDs, or
4 not?

5 MR. CHASE: There is. Good point.
6 Based off of the analysis that I've seen is screen
7 settings don't impact LCDs as much as plasmas.
8 Although it certainly could be a pathway, as well,
9 for LCDs to get there.

10 ASSOCIATE MEMBER ROSENFELD: Can you
11 amplify that? I mean, as much as, doesn't quite
12 tell you whether they're very insensitive, or half
13 or -- I just don't have a clue what you're --

14 MR. CHASE: Sure. This is a slide that
15 shows on the left-hand column there's clusters,
16 one, two, three, four, five, six, seven. These
17 are all different plasma televisions. These are
18 LCD televisions, and these are rear-projection
19 televisions, tested at factory default, kind of a
20 low power factory preset. And ISF calibrated,
21 that's Imaging Science Foundation, which generally
22 is the experts in calibrating televisions.

23 Generally see, I believe, with plasmas
24 we were seeing spreads of anywhere from 28 to 65
25 percent between the higher power mode and the

1 lower power mode, based off of CNET test results.

2 For LCDs I think generally in the range
3 of zero to 10 percent. And I can get more
4 specific figures for you.

5 We didn't highlight the screen
6 setting --

7 PRESIDING MEMBER PFANNENSTIEL: Excuse
8 me, Noah, did you have a comment on that?

9 MR. HOROWITZ: Why don't you finish
10 alex. I just wanted to talk about the settings.
11 I've got the EnergyStar spec that talks about
12 that.

13 PRESIDING MEMBER PFANNENSTIEL: Okay,
14 Alex, why don't you --

15 MR. CHASE: We didn't highlight the
16 impacts of screen settings on LCDs in this
17 particular presentation. Generally because it's
18 less of an issue in terms of a pathway to achieve
19 to tier one, since a large majority of tvs already
20 in the highest default settings could meet tier
21 one levels.

22 MR. TUTT: So, Alex, before we get to
23 Noah, it appears on this slide that the changes on
24 most power consumption from changing settings for
25 plasmas aren't as dramatic as the ones you showed

1 earlier. Is there an explanation for that?

2 MR. CHASE: This is, again it's model-
3 specific. So I think a large part is these are
4 different plasmas than what I showed earlier.

5 PRESIDING MEMBER PFANNENSTIEL: Thank
6 you. Noah.

7 MR. HOROWITZ: Noah Horowitz with NRDC.
8 Real quick, Tim, I think you're right on. The
9 settings is a big deal. The IEC gives some
10 flexibility to the tester.

11 EnergyStar built from IEC, and I'll read
12 two parts real quickly. It says, tests in
13 measuring the power consumption of the model
14 should be tested as shipped from the factory. TV
15 models that do not make use of a forced menu at
16 startup and are shipped in retail must be tested
17 in the retail mode.

18 So that would give you a much higher
19 number than the IEC might. So, I encourage people
20 to look at what EnergyStar did; take a look at
21 that and modify it as necessary.

22 They also say for products shipped with
23 a forced menu where the customer must select,
24 blah, blah, blah, the testing must be conducted in
25 a standard mode, and a standard well enough

1 defined. These are the issues offline I think we
2 should all take a hard look at.

3 ASSOCIATE MEMBER ROSENFELD: I'm sorry,
4 Noah, what does standard mean to you?

5 MR. HOROWITZ: That's the question. So-

6 -

7 THE OPERATOR: This is the operator. If
8 anyone has any questions or comments, please press
9 star one. Star one for questions or comments.

10 PRESIDING MEMBER PFANNENSTIEL: Go
11 ahead, Noah, were you finished?

12 MR. HOROWITZ: So we need to dig into
13 this a little more deeply. Because even if Alex's
14 numbers are off by a little bit, the settings
15 makes a huge difference.

16 PRESIDING MEMBER PFANNENSTIEL: Thank
17 you very much.

18 MR. TUTT: But, Noah, it sounded like in
19 what you read that unless there was that forced
20 menu at startup that you were forced to test at
21 the retail mode.

22 MR. HOROWITZ: The out-of-the-box or
23 retail, yes.

24 MR. TUTT: Okay.

25 MR. HOROWITZ: Which tend to be the

1 same.

2 MR. TUTT: I had one last question for
3 Alex. You can see in your slides and where you
4 derived the tier one standard, based on the
5 EnergyStar IEC specification. How did you derive
6 the tier two standard?

7 MR. CHASE: Pull up a slide here. If
8 you look at the equations you'll notice that the
9 tier two level is actually, it's tied to the
10 EnergyStar tier one for non-high-definition
11 televisions, which becomes effective in 2008.

12 And I thought it would be nice to anchor
13 it against that at least for consistency of
14 numbers.

15 But, in general, looking at the LCDs
16 that I highlighted that were showed at the Display
17 Week Conference in L.A., we said, okay, industry
18 is showing efficiencies in this range. So we know
19 that multiple panel makers would be able to
20 achieve that based on the technology that they're
21 showing today.

22 So we tried to make sure that the line
23 fell above those. And it generally skirts above
24 the least efficient of the advanced LCD
25 televisions. And it obviously gives them some

1 room.

2 For the plasmas, you'll see that it's
3 wanted to pick a point where presuming the 50
4 percent power reduction claims of Panasonic, the
5 leading plasma maker, were correct, would be able
6 to meet today. Presuming, of course, that they
7 have four and a half years to kind of advance and
8 bring that to the market.

9 PRESIDING MEMBER PFANNENSTIEL: Thank
10 you very much. Other questions? Okay. Thank
11 you, Alex.

12 I'm sorry, a question on the phone?

13 THE OPERATOR: We do have a question
14 from the phone line.

15 PRESIDING MEMBER PFANNENSTIEL: Go
16 ahead.

17 THE OPERATOR: Jon Fairhurst, your line
18 is open.

19 MR. FAIRHURST: Yeah, actually this is
20 Jon Fairhurst; I'm from DR Labs of America
21 (phonetic) and I'm also the IEC Project Leader for
22 the TV power standard.

23 And I just wanted to confirm that both
24 the IEC standard and the EnergyStar specification
25 are very consistent. Rather than giving

1 flexibility to the tester, which was the term that
2 Noah had used, it really gives some flexibility to
3 the manufacturers to provide both a retail and
4 home setting. But it's very specific for the
5 tester so that you will get the same results while
6 testing -- flexibility to the tester.

7 It specifies very clearly that if
8 there's a forced menu to select standard mode or
9 home mode or the first one on the list. And
10 that's consistent with EnergyStar.

11 So I would expect that the EnergyStar
12 televisions that we're going to see, and that, by
13 the way, goes into effect on November 1st, many of
14 these tvs will be using this forced menu in
15 startup -- by consumers to choose the more
16 effective settings.

17 And this is really based on the research
18 that was done that found that televisions in homes
19 remain in the setting as they were shipped. And
20 so something like over 80 percent of the
21 televisions at retail -- or excuse me, at repair
22 centers were found to not have been adjusted.

23 So, once the consumer selects home in
24 startup, then there's a good chance that that
25 energy savings will exist pretty much for the life

1 of the television.

2 PRESIDING MEMBER PFANNENSTIEL: Thank
3 you very much.

4 MR. FAIRHURST: You're welcome.

5 PRESIDING MEMBER PFANNENSTIEL: Other
6 questions? All right.

7 THE OPERATOR: There are no more audio
8 questions.

9 PRESIDING MEMBER PFANNENSTIEL: Thank
10 you, Alex.

11 Tim Michel from PG&E.

12 MR. MICHEL: Good afternoon, everyone.
13 Thank you for having me here. As you heard, my
14 name is Tim Michel; I'm a Senior Program Manager
15 with Pacific Gas and Electric Company,
16 representing our customer energy efficiency mass
17 market group.

18 My specific role is I'm in charge of
19 electronics at PG&E. So, a major component of
20 what I'm going to be looking at is televisions,
21 along with EnergyStar 4.0 computers, monitors, and
22 we see a variety of other categories folding in
23 under this umbrella category as we move forward in
24 the future.

25 Before I jump into the program design, I

1 want to recognize and thank a few instrumental
2 parties that have helped us get to where we are
3 today. And first and foremost that's primarily my
4 partners with the other major utilities in
5 California.

6 The effort that we're about to embark
7 upon this November is going to be an effort where
8 we're combining efforts between Southern
9 California Edison Company, San Diego Gas and
10 Electric Company, and just recently the Sacramento
11 Municipal Utility District.

12 So, we, as a group of major California
13 utilities, will be among the first in this country
14 to embark and initiate and launch a tv program
15 with an advanced specification on televisions.

16 I'd also like to recognize Hewan
17 Tomlinson with the national EnergyStar program for
18 helping our group of utilities better understand
19 the markets that we're about to impact; help us
20 with branding issues, as well as program design.

21 I'd like to also recognize Rebecca
22 Foster and Margie Lynch with the Consortium for
23 Energy Efficiency for their efforts in
24 establishing and hopefully finalizing within the
25 next 30 days, the advanced specification process

1 for televisions that will serve as a platform for
2 many other utilities around this country and
3 Canada, to adopt and implement their own programs
4 from.

5 Finally, I'd like to recognize Noah
6 Horowitz who we met with a few times, who's been
7 instrumental in helping us get a better
8 understanding of where we wanted to set our
9 program design. Get his feedback, that has been
10 very helpful in terms of making and fine tuning
11 adjustments. So, thank you, Noah.

12 As I said, we're looking to and
13 anticipate that we will launch a program this
14 November 1st. We anticipate the program will be
15 in place through the end of 2011, or essentially
16 on the IOU side of the equation, our next
17 regulatory cycle.

18 This is a program that will feature
19 incentives that go to the retailer, as opposed to
20 a customer or manufacturer. We've chosen the
21 retailer as the target for our incentives because
22 we believe that's where the money is going to be
23 best used to make a change in the energy efficient
24 television market.

25 Essentially a few other reasons why it

1 is that. The dollar incentive that we can apply
2 on a per-unit basis is so small that the impact on
3 the customer would be minimal. Also, it would
4 have, we would have significant issues putting
5 forward a nominal dollar fee on a per-unit basis
6 for the customer in terms of getting redemptions
7 to come back, which are our vehicle to claim
8 savings.

9 So we think that focusing a program at
10 the retailer is really the right choice. And as
11 you can see, we've targeted a number of retailers
12 and there's more than just this list. And I can
13 tell you I've met with all of these folks in the
14 last 90 days.

15 And there's significant interest by the
16 majority of these players on the screen, and
17 others that you don't see, to support this type of
18 program.

19 Our biggest issue up to this point is
20 where do we set our incentive level. And just
21 within the past couple weeks we have set the mark
22 for the program at 15 percent above the Energy --
23 or better than the EnergyStar standard. I
24 sometimes forget if you say above or below. But
25 more efficient than the EnergyStar standard.

1 So, essentially when you looked at
2 Alex's lines and you saw EnergyStar had the
3 lightning bolt, ours will be a parallel lighting
4 bolt 15 percent more efficient than that standard.

5 Beyond just from an energy savings
6 standpoint we think that's the right way to go.
7 Using EnergyStar as a platform provides for us
8 some significant branding efforts that can be
9 adopted, not just at the retail side of the
10 equation, but also the manufacturing side of the
11 equation.

12 And we think it's something --
13 EnergyStar has significant consumer, I was going
14 to say satisfaction, but recognition. So we think
15 that's an important platform for us to launch the
16 programs with and synergize with EnergyStar at
17 that level.

18 I think it's also important to note that
19 as we move forward over the course of this
20 program, because technology changed so swiftly
21 within this particular category, that this is
22 something that, as a group of utilities in
23 California, we will continually be looking at.

24 So, you know, what we don't want to be
25 doing is offering incentives on half the tvs that

1 are sold through retail.

2 What we do want is we want to look at a
3 more finite group of those. And that's one of the
4 reasons why we go beyond the EnergyStar standard.
5 Because it represents a smaller market share of
6 the overall tv market.

7 But because of the technology changes
8 occur so swiftly, it's something that we will need
9 to look at like every three, four, six months out,
10 to say are we at that kind of, you know, optimal
11 band, you know. I think Noah would use the term
12 best in class, within EnergyStar.

13 And that means that I don't think it's a
14 matter of if; I just think it's a matter of when,
15 over the course of the program, we make
16 adjustments to try to stay within that best of
17 class band. And I would say that's most likely
18 around 20 percent of the qualifying tvs, plus or
19 minus a few percent.

20 We think, as a group of utilities, we
21 also think that this -- please keep in mind, this
22 is a voluntary program -- as a group of utilities
23 we're going to be putting up major resources to
24 make this program successful. We want to have an
25 impact in this particular area, and it's one of

1 the prime focus for all of our collective
2 utilities that will be participating in this
3 program.

4 We think that this voluntary program
5 does one other important thing. And that really
6 helps kind of spur the innovation of the market to
7 synergize with the standard changes that the
8 Energy Commission will be thinking about
9 deploying.

10 We think, as we put forward voluntary
11 programs, retailers adopt these and stock, promote
12 and sell these products, that it will bring on
13 more innovation in terms of energy efficiency
14 within the tv category. And we're excited about
15 what we think we can accomplish in this particular
16 area.

17 So, California utilities, as we've
18 embarked on this process to engage retailers to
19 discuss what we want to do at the end of the year,
20 we really think that we're well positioned to
21 collaborate not just with the national EnergyStar
22 groups or the CEAs, but have stronger
23 collaboration with folks like the Consumer
24 Electronics Association.

25 In fact, a couple months ago, see Bill

1 Belt with the group here, we reached out to Bill
2 and his organization to discuss what we're doing.
3 And we hope to have ongoing dialogue and to garner
4 the support of their important group and their
5 constituency. Because I think without them we're
6 not going to be as successful as we otherwise
7 could. So it's important to involve them in this
8 equation.

9 Because this program is a retail- or
10 incentive-focused program, we can't leave out
11 maybe the most important part of this equation,
12 that we're all trying to impact. Either through
13 voluntary programs or through the standards that
14 you're going to consider for adoption. And that's
15 the customer.

16 The customer either being the
17 residential or business customer that would be
18 purchasing these televisions, that would qualify
19 in our program.

20 So, what we're going to be doing, as a
21 group of utilities, and we're going to use our
22 resources to help achieve this goal, is that we
23 think customer education is a prime component of
24 what we need to be looking at here.

25 So, we want to make the customers in

1 both segments, aware of these more efficient
2 televisions; promote it to the point where we're
3 getting them to go into the stores and ask for
4 these particular products from the retailers.

5 We think in the absence of doing that
6 we're not really closing the loop on the matter.
7 Because, you know, in the end we really want the
8 customers to make the right type of purchase; the
9 purchase that we will provide the retailer the
10 incentive on. So education is going to be key in
11 this particular area.

12 We also think that the education goes
13 beyond that of the customer, and that the
14 education needs to go actually to the retailer,
15 themselves. And promote what this program is,
16 what it's trying to accomplish for the salespeople
17 that would be selling these products. And we
18 recognize that there's high turnover in many of
19 the retailers in these particular areas. And
20 that's why our efforts will be ongoing at the
21 retail front through the course of the program.

22 As the last bullet says, you know, the
23 incentives will be available for any television
24 regardless of its particular category or
25 classification within the tv category. So DLP,

1 rear-project or LCD, plasma, if any of those
2 technologies can get to that 15 percent mark they
3 will qualify -- the retailer will qualify for the
4 incentives that they sell through their stores.

5 And just to sum it up, -- I'm sorry, is
6 there a question? No. Okay.

7 We think -- we don't think, we're pretty
8 confident that what we're setting up here in
9 California is going to serve as a model for other
10 utilities in the country.

11 On a weekly basis I get multiple calls
12 from utilities, not just within the United States,
13 but also Canada, wanting to know what we're
14 setting up, why we're setting it up in the fashion
15 that we're doing, so that they can either band
16 with, you know, come into our program, or set up a
17 program that will synergize along with the same
18 efforts that we're putting forward.

19 So, we're really excited about what's
20 going to happen here. In fact, EnergyStar is
21 anticipating in September that they're going to
22 have a national workshop around electronics where
23 we're going to be working with other major
24 utilities in the United States and Canada around
25 this area.

1 What is the program design; why did it
2 get set up this particular way; how do we hope to
3 impact it; what are the engineering calculations
4 connected up with this program?

5 How are you going to market and
6 advertise this program; how are you going to
7 engage the education components of your program;
8 how are you working with retailers; how are you
9 working with industry to make this thing
10 successful?

11 We think that that is really important
12 for this particular reason, that if you think
13 about it, if you're a major national retailer and
14 you're selling appliances, there are hundreds and
15 hundreds of utility programs for appliances out
16 there.

17 But there aren't too many synergized
18 efforts that that retailer can get, you know,
19 stand behind and promote on a national scale.
20 Because we all administer the program differently.
21 There's different rules, different requirements,
22 different rebate amounts.

23 So, it's very hard for national players
24 to get behind those very fragmented efforts that
25 go on around the country.

1 So we're really hoping to set up a
2 platform that will allow for more significant and
3 greater engagement for national players in the
4 electronics game.

5 So, to accomplish that our goal is to
6 work with groups like NRDC, the national
7 EnergyStar program, the Consortium for Energy
8 Efficiency, CEA and others so that we can really
9 have -- so that it isn't a fantasy kind of thing.
10 We want to see a harmonized, synergized program so
11 that we can develop the scale and commonality
12 necessary to really drive the results that we
13 think can be achieved through this particular
14 category of programs.

15 So, really, for me the bottomline is I
16 think California is really well positioned to do a
17 couple of important things to transform the tv
18 marketplace.

19 One, through the use of utility
20 incentives and a voluntary program will help, you
21 know, essentially prime the pump for future
22 standards that could take hold here in California.
23 And we think both the customer and retailer
24 education components are equally important in this
25 process to really achieve the results that can be

1 accomplished through this type of effort.

2 So, I appreciate everybody's time, and
3 I'm happy to take any questions.

4 PRESIDING MEMBER PFANNENSTIEL: Thank
5 you, Tim. Are there questions?

6 ASSOCIATE MEMBER ROSENFELD: Yeah. What
7 sort of size of your rebate? Is it going to be 20
8 percent of the sales price or --

9 MR. MICHEL: No.

10 (Laughter.)

11 MR. MICHEL: Industry would love that.
12 No, the reason that we're going at the retail
13 level is that the dollar value is nominal. We
14 haven't set the amount. It will be somewhere in
15 the \$10 to \$20 per-qualifying-unit range.

16 And that's why we're not going to the
17 customer to do this, because rebate breakage
18 levels or the redemptions at that value would be
19 in the 90-plus percent category, meaning 90
20 percent of the customers might do what we want
21 them to do, but they won't submit the rebate
22 application for that low of a dollar value.

23 PRESIDING MEMBER PFANNENSTIEL: Tim.

24 MR. TUTT: Yes. You mentioned that you
25 have to look at this on a continual basis, and

1 also that the anticipated program dates last
2 through 2011.

3 One reason you might want to look at
4 this is if we, presuming we did adopt a tier one
5 standard effective at the beginning of 2011, that
6 might affect your rebate program in that year.

7 MR. MICHEL: Without a question, it
8 would. As you may have imagined, I've had several
9 hours of discussions with Alex Chase about this
10 particular issue.

11 And, by the way, we should thank Alex
12 and Ted Pope from Energy Solutions for their
13 efforts here, because they've been working both
14 with Pat Eilert's codes and standards group, as
15 well as our mass market group for the voluntary
16 program. And they've put in way more hours than
17 you can imagine into this process.

18 So, for us, if California adopts a
19 standard that takes hold in 2011, we would have to
20 look at moving our program beyond that standard.
21 We couldn't offer it at the same standard because
22 that's what has to happen in California anyway.

23 So we view the role of the voluntary
24 incentives programs to push beyond whatever
25 standards are in place, either really here in

1 California, or on a national basis through the
2 EnergyStar program.

3 PRESIDING MEMBER PFANNENSTIEL: Thank
4 you very much.

5 MR. MICHEL: Thank you.

6 PRESIDING MEMBER PFANNENSTIEL: Noah.

7 MR. HOROWITZ: I'm going to sit down
8 here if that's okay. Is this on?

9 PRESIDING MEMBER PFANNENSTIEL: If the
10 green light -- should be a green light
11 illuminated.

12 MR. HOROWITZ: Okay, there we go.

13 Good afternoon; I'm Noah Horowitz and
14 I'm a Senior Scientist with NRDC, the Natural
15 Resources Defense Council. I want to acknowledge
16 all the hard and excellent work by PG&E and their
17 consultant, Energy Solutions; and for the
18 opportunity to address everybody today, both from
19 the Commission and many of the manufacturers and
20 other stakeholders in the room.

21 We've been looking at tvs at NRDC
22 probably as long as anyone has. I travel a lot
23 and I kept seeing these flat screen tvs appearing
24 in airports and hotels. And how much power do
25 these use? It's a better tv; it's a bigger tv.

1 And some of our initial data helped result where
2 we are today.

3 I'm pleased to say the world is
4 changing. We took our first report to the
5 consumer electronics show. I walked around to
6 every booth with a two-page summary and said, can
7 you tell me how much power your tv uses. Nobody
8 could tell me. A few of them looked at the back
9 of the tv and said, oh, it's 400 watts or
10 something. That was the UL rating of how much
11 power can this tv use without exploding.

12 (Laughter.)

13 MR. HOROWITZ: Now, where we are today
14 is Philips proudly announced they were the winner
15 of a competition; they had the most efficient tv
16 at the show. And we're seeing all these major
17 panel producers and tv makers touting their tv as
18 more efficient than the next. And we're seeing
19 savings, 10, 20, 50 percent and beyond.

20 So I think now we're ready to start to
21 begin to talk about standards, the industry is
22 catching up.

23 Mainly I'm here to support the proposal
24 that's been put forward by PG&E that does it in a
25 two-step process. The only difference we have,

1 and we think it's a respectful one, is to consider
2 moving up the timelines. And I'll share some
3 alternates.

4 I'm going to focus on the big picture,
5 and I'm going to give a couple of different
6 options. And whenever I say picture it's not
7 meant as a pun, but we can't help ourselves here.

8 Perspective-wise, the savings that Alex
9 showed, once we have a full turnover of the fleet
10 of tvs, we're looking at 600 megawatts. That's a
11 decent sized power plant the way we look at
12 things.

13 And I'm also very active, as many of you
14 are, in the building code, the energy code, which
15 is Title 24 in California. We worked awfully
16 hard, as they did a great job at the CEC and the
17 builders. We're looking at first-year savings of
18 120 megawatts from the building code simply by
19 adopting a sufficiently stringent standard for
20 tvs. Look at the equivalent of five years of
21 savings that we get from the building code.

22 So this is a really big deal, and I
23 encourage everybody to be open minded and let's
24 make sure we get this right.

25 So, let me go to my formal comments

1 here. And, Melinda, if you can keep track with
2 me. Next slide, please. One after that.

3 Okay, tvs from a really high level, it's
4 one of the biggest remaining unregulated
5 electricity uses in the home. As Commissioner
6 Rosenfeld aptly pointed out, if you have a 200,
7 300 watt tv that's on five-plus hours a day, and
8 the Nielsen data comes in at about seven hours per
9 day, believe it or not, for the main tv in the
10 home, you're easily exceeding today's new
11 refrigerators that peg in at around 450 kWh per
12 year.

13 And why is tv energy use growing? The
14 screens are getting bigger every year. The 30
15 inch was the sweet spot, now 42, 47 inches are the
16 sweet spot. And it continues to grow.

17 They're on more hours per day. You have
18 roughly 100 stations available for you if you have
19 a pay tv. People are watching movies in the form
20 of DVDs or downloaded movies. They're playing
21 video games. So the hours people are in front of
22 tv is growing. We won't talk societally whether
23 that's a good thing. That's not our job today.

24 There's also the move to high definition
25 tv which results in slightly greater energy use,

1 as well.

2 As we've heard, EnergyStar has set their
3 first spec. Their approach, which often makes
4 sense, is they walk before they run. Their spec
5 had a glaring hole in that it didn't include on-
6 mode until this most recent version. And they
7 intend to ratchet it up considerably in a tier two
8 that would go into effect in 2010. So let's keep
9 track of that.

10 We're looking at EnergyStar today, but
11 the EnergyStar of the future will likely be much
12 more stringent.

13 Very big picture, why do we care about
14 tvs at NRDC. It's roughly 1 percent of national
15 electricity use, just for this one widget.

16 There's been a whole lot of interest and
17 study on datacenters. If you add up all the
18 servers that are the backbones, the Googles and
19 the internet and your email and your office
20 intranets, that's a little more than 1 percent, as
21 well. So tvs are a really big deal and we need to
22 get our arms around it.

23 When are we ready for a standard? I
24 think we would all agree there are four key
25 elements. We need a reliable test method. We

1 didn't have that till earlier in the year, so it
2 would be premature to have this discussion. I put
3 a checkmark there.

4 We didn't have data for a new test
5 method due to the EnergyStar process and other
6 things. We have a wide amount of data, both from
7 the U.S., Europe and other sources. Even the
8 CNETs of the world are starting to measure tv
9 energy use.

10 We also need to see a spread between the
11 best- and worst-performing models. And what we're
12 here advocating today is we should be setting
13 floors that will increase to remove the least
14 efficient models from the market.

15 You need evidence that you can meet
16 that, either with models that are on the market
17 today, or will be introduced relatively soon. And
18 Alex blew me away with manufacturer after
19 manufacturer's plans to bring models that are 25,
20 50 percent more energy savings. And that's just
21 today, many years before these standards would go
22 into effect.

23 ASSOCIATE MEMBER ROSENFELD: In fact,
24 many years before we even discuss labels where the
25 consumer knows that the tv draws power.

1 MR. HOROWITZ: Exactly. I'll be talking
2 about labeling in a minute, so, thank you.

3 So, we're talking about on or active
4 mode, depending what term you prefer. This is an
5 old slide I pulled up. So, yes, it's true the tv
6 is probably off or in standby mode the majority of
7 the time, call it 18, 20 hours or so a day. And
8 it's only drawing a couple of watts, and good for
9 everybody for agreeing to that standby standard.

10 But during those five hours a day it's
11 drawing so much more power than cumulatively this
12 is 85, 90 percent of the annual energy use. And
13 we're not addressing that yet, and we need to, as
14 a state.

15 Next slide, please. So, real quick, on
16 test methods. There is a DOE test method on the
17 books. It's 30 years old. It uses static black-
18 and-white test patterns that don't sufficiently
19 stress today's digital tvs.

20 The industry, to their credit,
21 recognized the shortfall with a little prodding.
22 And they worked through the international standard
23 setting body, IEC. And Jon Fairhurst from Sharp,
24 who's on the phone, did an amazing job and in
25 record speed. We now have a test method that the

1 whole industry has embraced. And it uses a
2 standardized set of clips to replicate the average
3 brightness levels of tv images.

4 That doesn't have the IEC pedigree.
5 It's a big international institution. It's passed
6 the technical committee, and we understand it's
7 just a question of several weeks, you know, well
8 into the fall or so we should have the final
9 version. That may slip a few weeks based on some
10 of the bureaucracy there. But, consider that
11 done.

12 EnergyStar has relied on this IEC test
13 method. The Europeans are relying on it. The
14 Australians, and the Chinese might, as well. So
15 we have an international industry consensus test
16 method, and that's essential.

17 Then we have a whole bunch of data and
18 an increasingly growing dataset based on that test
19 method.

20 The EnergyStar dataset, a couple of
21 things I want to point out is most of the test
22 data there was using the settings that were
23 retail. So, it's the higher end, and these tvs
24 are capable of drawing a whole lot less power. So
25 that's kind of a worst case dataset. And it

1 doesn't reflect any of the models that Alex has
2 been talking about.

3 It's part of a longer conversation, but
4 CEA did a great job polling their members and
5 submitting the data to EnergyStar for the IEC test
6 method. But for reasons unbeknownst to me they
7 refused to include the make and model number. So
8 we have a hard time distinguishing our basecase to
9 where we're moving if this is a representative
10 dataset. So, we'll talk, in a minute, about CEA's
11 offer to provide data which we think is a great
12 idea.

13 Let's talk about the data spread. There
14 is a wide spread within the plasma-versus-plasma,
15 within LCDs and between the different families of
16 technology.

17 Go to the next slide. Yellow is what
18 you and I would call an LCD. Green is the plasma.
19 And interestingly enough we haven't spoken bout,
20 but we shouldn't lose sight of, DLPs -- what's the
21 acronym DLP -- digital light processing. Yes.
22 And some rear-projections.

23 The red is that stairstep line that
24 EnergyStar has. And here's the plotted data. And
25 it's interesting to note, 42 inches, which is a

1 very common dataset, we've got a plasma that's
2 doing better than some LCDs. This is why we need
3 technology-neutral, performance-based standards.
4 Let all these different technologies fight it out
5 to win the battle here.

6 Also, there's been a lot of emphasis on,
7 hey, you're going to kill the plasma industry.
8 Well, we heard from Alex that simply by changing
9 the settings they could dramatically reduce their
10 energy use. And sometimes they're the clear
11 winner.

12 Plasmas are roughly 10-plus percent of
13 the market. Those really low levels that people
14 haven't focused upon, those represent almost a
15 similar sized marketshare. To be fair, though,
16 those are fatter models that you can't hang up on
17 the wall. So it's not apples-and-apples.

18 ASSOCIATE MEMBER ROSENFELD: To show my
19 confusion on the plasmas, are the plasmas on your
20 plot there at the higher brightness level?

21 MR. HOROWITZ: Yes. That was the data
22 that was submitted to EnergyStar.

23 ASSOCIATE MEMBER ROSENFELD: The old
24 EnergyStar.

25 MR. HOROWITZ: Those are the datapoints

1 that EnergyStar chose to use. So I think again we
2 need to circle back after this meeting of what
3 settings are being used and how to base policy
4 around that.

5 So, for a market background point of
6 view, there's a term of art called the panel
7 maker. So imagine the glass that you see in
8 front, so that's the screen. The backlight units
9 are defusers. That whole package, if you will, is
10 the panel. That's the guts of the tv.

11 And there are five major panel makers,
12 most of them based in Asia, that are making the
13 vast majority of LCDs. All five of them are
14 developing energy efficient or eco-tvs. They have
15 their own name. And Alex did an amazing job
16 talking about them.

17 My understanding is they're not
18 represented in this proceeding, and I think we
19 should reach out to them. The tv makers, the
20 Panasonics and Philips and the Sonys, buy panels
21 and then add tuners and the chassis -- or, I'm
22 sorry, the enclosure and the speakers and things
23 like that. And have their name on it.

24 But it's the AUOs and the CMOs that Alex
25 mentioned, those companies, they're the ones that

1 are driving this innovation in part. And if
2 there's an incremental cost. We need to hear
3 directly from them, as they seem to be pushing
4 this pretty hard.

5 As has been shown earlier, Alex had some
6 amazing stuff, so I'm embarrassed by my text-based
7 PowerPoint here, but we're seeing energy and power
8 savings of roughly 30 to 50 percent without any
9 attribution to reduce the picture quality.

10 There's a big potential to optimize
11 these models. And we're trying to get more direct
12 cost information because we fully understand
13 incremental cost is part of this discussion. But
14 if you can optimize by using a film or some other
15 technique that allows the light to transmit more
16 efficiently, you could eliminate some lamps. That
17 saves some cost.

18 For each lamp you have an inverter
19 eliminating the need for some of those inverters.
20 Your overall power budget goes down so you can buy
21 a smaller power supply, which means you bought a
22 less expensive power supply.

23 So, I think, at the end of the day,
24 these incremental costs will be near zero costs.
25 If not today, in the near future, for these LCDs.

1 Next slide. There's a well-kept secret
2 that's not so secret anymore is manufacturers ship
3 their tvs overly bright, for two reasons. They
4 don't want to have to rely on the technician on
5 the floor at WalMart or BestBuy when they open the
6 box. That's the one people look at in the store.

7 The stores are overly lit in many cases,
8 so they need the tv to be brighter. And all other
9 things being equal, people buy the brightest tv
10 that's available. So these things are over-tuned-
11 up, Alex used the term of art, torch mode.

12 So all tvs are shipped historically in
13 that mode, even though we're talking about, you
14 know, a couple of thousand sites retail where
15 these are sold. And we're all being penalized for
16 that. The millions of people at home, some of
17 them may be keeping their tv at that over-bright
18 setting. We need to fix that, and I think we've
19 just started to discuss how to do that. And
20 Panasonic has led the way on the plasma side. We
21 think we should take a hard look at that.

22 Next slide, please. Alex pointed out
23 the double efficiency that Panasonic and their
24 joint venture, Pioneer, are pursuing. Those are
25 clearly the one and two in the plasma industry.

1 And it's their words, not mine, that they said in
2 the consumer electronics show over half a year
3 ago, that these new innovations would cut annual
4 power consumption approximately in half. So, this
5 isn't fiction, this is real.

6 And, again, we should be thoughtful
7 about plasma, but not over react to that because
8 it's currently a relatively small part of the
9 market.

10 I'm going to quickly go over various
11 policy options that I think many of us are
12 considering, starting with no standard at all,
13 just testing and list, all the way down to a two-
14 tier standard like PG&E has proposed.

15 Let's take a look at test and list. The
16 CEA, in their letter to the Energy Commission,
17 said let's do test and list and let's begin
18 2/19/09, which is when the nation is shifting from
19 analog broadcast to digital only.

20 From our point of view why wait. We
21 think there's going to be a media blitz before
22 then, particularly around the holiday season. Get
23 ahead of this digital transition, buy this new
24 flat panel tv. Let's get that information in the
25 hands of consumers or more available. Let's not

1 wait till 2/19 is our point of view.

2 Also, there's this massive EnergyStar
3 database of models provided by CEA members. It's
4 puzzling to us why we can't have the model number
5 and the manufacturer name. That would be a great
6 first start and a good faith effort by the
7 industry well before 2/19. There's nothing
8 confidential in our mind of the energy use of a
9 tv. We're not asking for sales data or price. We
10 understand the sensitivity of those.

11 Also, if we just stop to test and list,
12 we're going to get that from the Federal Trade
13 Commission anyhow, as one of the requirements of
14 the federal energy bill called EISA. Tvs are
15 going to be required to have a label just like the
16 yellow energy guide that's on a lot of other
17 goods.

18 Most importantly, while test and list is
19 a valuable thing, and we do need to let consumers
20 know how much energy a tv uses so they can build
21 that into their choice if they'd like to, but we
22 need to remove the least efficient models from the
23 market. We need to set a floor, and that's what
24 standards do. And that's where the CEA proposal
25 falls short, in our opinion.

1 So, some people may say why don't you
2 just wait a little while and then adopt
3 EnergyStar. Is that good enough? Well, as Alex
4 pointed out, we're going to see very high
5 compliance rates, probably 50 plus percent, simply
6 by changing the settings. So we're well on our
7 way to EnergyStar.

8 And those stairsteps that you saw in the
9 EnergyStar, that was a concession due to a lot of
10 industry pressure. And that worked for
11 EnergyStar. But the reality is we're adding 50 or
12 so watts to what the data typically follows a
13 straight line. Why are we doing that?

14 And also those really big tvs, those are
15 the biggest energy consumers. If anything, that
16 line should be flattening, not increasing. And
17 many of these tvs are on 12 hours a day if it's in
18 the hotel lobby or a bar or something like that,
19 where the really large ones tend to wind up.

20 Next slide. So we agree, as a good
21 first step is to take the up to 40 inches, the
22 part of the EnergyStar line that is straight, and
23 just continue with that. We think that makes a
24 lot of sense.

25 In terms of an effective date, based on

1 the anecdotal information Alex has provided, and a
2 lot of the web-based support for that, and the
3 information on the settings, PG&E has proposed an
4 effective date for tier one of 1/1/2011. That's
5 three and a half years from now.

6 Given the challenges California's facing
7 in terms of meeting its energy and carbon goals,
8 we don't think we need to wait that long. And we
9 respectfully submit an earlier date of November 1,
10 2009. And we picked that because there's a big
11 spike in tv sales just before the holidays. Let's
12 catch that holiday season.

13 Next we talked about the tier two, which
14 we recognize is more ambitious than the EnergyStar
15 levels we've been talking about. Given all the
16 information received today, many years before a
17 standard would go into effect, we think we should
18 set a firm line, and set a clear target for the
19 industry, and help solidify these investments.

20 Also, PG&E and the other statewide
21 utilities, and hopefully other leading utilities
22 in North America and elsewhere will offer rebates
23 at this tier two level to help jump-start this
24 market, and bring those models to the market
25 earlier, and smooth out this transition.

1 There's some other benefits here. We
2 don't have enough time to talk about them, but
3 more efficient tvs, and I think it was on the
4 Panasonic slide, they're thinner tvs. So what
5 does that mean? You're going to have less
6 packaging materials; you're going to be able to
7 get more on the container coming from Asia; and
8 there will be reduced shipping costs from the
9 manufacturer. So there's some other incremental
10 and environmental benefits here.

11 Next slide, please. So, to wrap up,
12 being respectful of time here, what if we were to
13 be really creative here. Why don't we adopt both
14 the PG&E and the environmental proposal and CEA's
15 proposal. We say let's do that. Let's do the
16 test and list, and let's adopt the two-tier
17 standard that PG&E's proposing.

18 I think Tim previewed a very important
19 issue. Getting the settings right is critical.
20 Let's take a harder look at what IEC did, what
21 EnergyStar recommends, and if necessary, we'll
22 have some language, use the IEC test method with
23 an addition, here's what you should do on the
24 settings.

25 We think Panasonic showed greater

1 leadership here, the way they set it up, and
2 that's a model to look at.

3 Why am I so concerned and encourage
4 other people? We heard that tvs often stay as
5 they're shipped. Many tvs today are shipped in
6 this retail mode. We don't want the tvs to stay
7 there.

8 Also, we want to make sure these savings
9 are real, not just paper savings. Yes, the tv
10 could use this much power, but it also could use
11 this much power. Where is it going to stay a
12 month after it's in the consumer's home.

13 So, in conclusion, we recommend the two
14 tier standard with the dates that we've shown,
15 11/1/2009 for tier one, which is a full year after
16 the EnergyStar spec has been in effect. And tier
17 two would be two years later, roughly three years
18 from today, which we think gives plenty of time
19 for these various manufacturing improvements to
20 take hold at the factories.

21 So, we want a technology-neutral,
22 performance-based standard. We think it would be
23 a big mistake to set a different spec for plasmas,
24 a different spec for LCDs, a different spec for
25 DLPs and so forth.

1 We think it's crucial to include a tier
2 two spec now. If we just stop at tier one, we're
3 leaving on the table a lot of the savings, and
4 will delay setting that standard in the future.

5 Again, for the PG&E's consultant's
6 numbers we're looking at 600 megawatts of demand
7 savings. And I was looking at the paper yesterday
8 and on the front page of the San Francisco
9 Chronicle was a big article: Look how great our
10 PV program has done; we've saved 60 megawatts in
11 terms of putting new PVs on people's homes. We're
12 going to deliver ten times that with a standard.

13 And that program, which is a good one,
14 don't get me wrong, we're investing hundreds of
15 millions and millions of dollars in that. So,
16 here's our way to get close to a free power plant
17 for California.

18 Last slide. Changes will be needed to
19 meet the tier two, and for some manufacturers tier
20 one. We recognize that and we look forward to a
21 real dialogue with the industry to figure out
22 these dates.

23 We think roughly three and a half years
24 from today is sufficient to attain those. We're
25 willing to talk to industry about this and the

1 levels.

2 And I want to make crystal clear and
3 leave with people, we've heard all sorts of horror
4 stories. If you set a standard there won't be tvs
5 available, or this type of tv won't be available.
6 Whether you want an LCD, a plasma, rear-
7 projection, after tier two goes into effect,
8 there's clear indications there'll be wide choices
9 for everybody.

10 Thank you.

11 PRESIDING MEMBER PFANNENSTIEL: Thank
12 you, Noah. Questions? Art.

13 ASSOCIATE MEMBER ROSENFELD: Yeah.
14 Noah, has there been any discussion with you or
15 within the industry, I'm harking back to this
16 point that the average consumer, I guess, knows
17 that you can dim an incandescent light. And
18 there's some reason, partly money.

19 Any way of conveying the wattage in the
20 on-mode, in the active mode, as a little decal
21 thing at one corner of the screen saying, this
22 unit is now using 500 watts, or 400 watts? Any
23 discussion of that?

24 MR. HOROWITZ: I would pose that to the
25 industry, if that's something they will be willing

1 to entertain. I think it's a great idea, arming
2 people with information. Some sort of slider
3 scale, if I move the brightness or contrast this
4 way, how does my carbon footprint or my operating
5 costs or power change. There are lots of creative
6 ways to do this.

7 One thing we did talk about, which is
8 another technological innovation, is sometimes
9 you're watching a movie in your house at night.
10 The room is darker, so you're seeking a certain
11 contrast ratio. The tvs have sensors and will dim
12 the picture accordingly and use less power. That
13 capability is in many new tvs.

14 ASSOCIATE MEMBER ROSENFELD: Well,
15 that's very interesting. Thank you.

16 PRESIDING MEMBER PFANNENSTIEL:
17 Excellent. Other questions?

18 MR. TUTT: Just one question, Noah. You
19 mentioned a couple of times that you think we
20 should set standards as floors to remove the least
21 efficient models from the market.

22 I don't know that we have a complete set
23 of data, but it doesn't -- what do you mean by
24 least efficient? Are you talking 20 percent, 25
25 percent of the models? Does it differ by

1 technology?

2 MR. HOROWITZ: As high as we can go with
3 cost effectiveness and availability of product.

4 PRESIDING MEMBER PFANNENSTIEL: Thanks,
5 Noah.

6 MR. HOROWITZ: Thank you.

7 PRESIDING MEMBER PFANNENSTIEL: Now
8 let's hear from Consumer Electronics Association.
9 Who's going to do that?

10 Hi, Doug. I think we have given you
11 some -- the prior presenters have given you some
12 good information, and now we'd like to hear how
13 you'd like to approach it.

14 MR. JOHNSON: Thank you. For the record
15 my name is Doug Johnson; I'm Senior Director of
16 Technology Policy for the Consumer Electronics
17 Association.

18 And as you acknowledge, Commissioner,
19 we've been set up quite well with some material in
20 a couple of presentations.

21 First, though, I'd like to reference one
22 of the opening comments made by Mr. Fernstrom of
23 PG&E, characterizing PG&E's proposal as a modest
24 proposal, like the Jonathan Swift essay in the
25 1700s. This is anything but a modest proposal,

1 Gary. And we'll get into the details of this
2 shortly.

3 Next, in acknowledgement to Mr. Chase
4 with Energy Solutions, I'd like to thank him for
5 showcasing in a very good way with a lot of
6 pictures and stories, the fact that industry is
7 already introducing and promoting energy efficient
8 tvs. So as the Commission tries to understand
9 what is going on with televisions, the transition
10 to digital television and energy use, a lot of
11 this explains that the market is transforming even
12 as we speak here this afternoon, and delivering
13 more efficient products one after the other.

14 So, it is a very good-news story, and
15 it's all the more reason why detrimental
16 approaches, as the one that's being suggested by
17 PG&E, are unnecessary.

18 Then one reference to the zero dollar
19 cost figure. I've been engaged in discussions
20 with the Commission. As you know, we've worked
21 closely with you to remedy the problems
22 encountered with the regulation for external power
23 supplies.

24 And I remember, during those
25 discussions, the Commission's consultants said the

1 solutions are practically free. And subsequently
2 we heard from a number of industries; they were
3 here to explain there are no free solutions.
4 There were costs that were certainly not
5 considered during the regulatory process leading
6 up to the initial external power supply
7 regulations.

8 So the zero dollar cost, you know,
9 moniker, is really nonsense. There are real and
10 significant dollar investments behind materials
11 and design innovations. And I encourage Mr. Chase
12 to take a careful look at his own presentation,
13 slide number 51, and understand what's behind some
14 of those statements and innovations.

15 As I open here I'd just like to give a
16 quick background of CEA. Many of you know, some
17 of you may not, we're a high tech trade
18 association representing about 2200 companies
19 across the spectrum of the industry really. All
20 the brands and products you see in your local
21 electronics retailer, including the retailers of
22 those products.

23 The industry is about \$161 billion. Our
24 membership is diverse, as I mentioned. It
25 includes a lot of small- and medium-sized

1 businesses, as well, in addition to the large
2 brands you've heard about today.

3 A note for the record, as well. You see
4 a number of empty seats in the room today. And we
5 do want to note that industry takes this
6 proceeding very seriously, however we know that
7 the Commission was quite interested in holding
8 this on July 16th, as we learned about a few days
9 ago.

10 There are a number of conflicts for
11 industry this particular week. The Commission
12 Staff knows that. So I'd just note for the record
13 that we have a small delegation here, but a great
14 interest in what's transpiring.

15 PRESIDING MEMBER PFANNENSTIEL: Thank
16 you, Mr. Johnson. And I would say that it is
17 likely that we will hold another workshop on the
18 subject. I think we wanted to kick it off and get
19 it started, but we understand that there's a lot
20 of information here, and we should be scheduling
21 our next one shortly.

22 MR. JOHNSON: Oh, thank you,
23 Commissioner. Let's work collaboratively and find
24 a date that really works for industry.

25 PRESIDING MEMBER PFANNENSTIEL: Yes.

1 MR. JOHNSON: Our contributions are
2 diverse and quite involved. And I just wanted to
3 review how we're approaching energy efficiency in
4 general. We're going to talk about the proposal
5 with regard to tvs and what we're doing, specific
6 to tv energy efficiency.

7 But in general, we're out there in a
8 very comprehensive way, trying to do the right
9 thing by reducing power consumption, improving
10 efficiency, delivering to consumers the products
11 that they desire.

12 We are, as you know, very supportive of
13 market-oriented approaches such as EnergyStar.
14 And we'll talk about the merits of what they've
15 recently done for televisions in a moment. And
16 obviously we'll get into the details. My
17 colleague, Bill, will step up shortly to talk
18 about the details of our proposal that we've put
19 on the record.

20 I would like to explain in a little bit
21 more detail our comprehensive approach to energy
22 efficiency. On the policy side, as you know, we
23 are strong supporters and advocates here and
24 abroad of voluntary market-oriented programs such
25 as EnergyStar.

1 On the research and analysis side we've
2 made contributions to fill gaps that have existed.
3 From our initial engagement with you, it was very
4 clear that you did not have good data to work
5 with, you and other policymakers in this country
6 and around the world.

7 So we've completed two major studies.
8 The first one did address primary energy use of
9 consumer electronics products. And it was a study
10 completed and disseminated last year.

11 More recently we have done a study to
12 help policymakers and consumers understand the
13 energy savings and emissions-reducing benefits of
14 using technology products for telecommuting and
15 ecommerce. So, not only do we want to look at
16 prime energy use, we want to look at ways in which
17 energy is saved and emissions are reduced by the
18 use of these products, including televisions and
19 home theater environments.

20 On the standards side you've heard from
21 Jon Fairhurst in particular about the industry-led
22 effort to develop a new standard for measuring tv
23 power consumption. This is almost complete,
24 actually; in essence it's complete, but near
25 official. And that was a result of a broad effort

1 at the international level involving a number of
2 industry and nonindustry stakeholders.

3 Industry also delivered a new
4 specification for measuring set-top box power
5 consumption. Set-tops are another important
6 category with regard to energy consumption.

7 On the consumer education side, it's
8 very important, as the gentleman from PG&E noted
9 earlier with regard to reaching out to consumers,
10 we launched a website last year based on that
11 energy use study we did to at least give consumers
12 today an understanding of the categorical level
13 how much power is being used by products in the
14 home. And understand terms of watts and dollars,
15 how much it costs to power these things.

16 Yes, our ultimate goal is to get down to
17 the model level with a figure that we can present
18 to the consumer. And we work closely with
19 policymakers on Capitol Hill to develop that
20 language that was in EISA 2007 last year.

21 We have used our trade show, the largest
22 gathering of the industry in the world, to promote
23 energy efficient products. Design, we've rewarded
24 products, as you heard referenced earlier. We
25 promote energy efficiency and environmental issues

1 in general at this trade show. There's a lot
2 going on and the trade show tries to bring that
3 together in a way that's, you know, understandable
4 to media analysts and others who are
5 participating.

6 Outreach and coordination efforts have
7 included obviously outreach to policymakers, NGOs,
8 researchers, as well as utilities.

9 So the EnergyStar program for
10 televisions, itself, was a broad-based,
11 collaborative, two-year effort that has resulted
12 in a first-ever specification for televisions that
13 includes active mode in addition to standby power.
14 It's quite an accomplishment. And it was the
15 result of input by a number of many factors, as
16 well as NGOs such as NRDC.

17 We have regulators at the table and
18 analysts and others. And it was a great outcome.
19 One of the merits of this, of course, are that tvs
20 will be tested in factory default settings, and
21 this will have the impact of encouraging shipment
22 of tvs in lower energy-consuming modes. And so
23 this is a great outcome, a result of this new
24 specification.

25 As you heard earlier it's effective this

1 fall. Importantly, a compliant product will be
2 available for the upcoming high-demand sales
3 periods that you heard Mr. Horowitz reference
4 earlier.

5 We have the holiday selling season; we
6 have the superbowl; we have the transition to
7 digital television broadcasting in February.
8 EnergyStar is ready for those selling periods.

9 The tier two effective date, or a tier
10 two effective date has been built into this
11 specification. The new specification for tier
12 two, that is a number to be attached to that
13 effective date, will again be vetted through this
14 broad stakeholder forum.

15 So, EnergyStar has an existing forum in
16 which the Commission Staff has participated, along
17 with all these other stakeholders. So that is the
18 appropriate venue for bringing parties together to
19 take a look at what's happening with the market
20 for tv energies and addressing it in a way that's
21 not detrimental for the market.

22 The merits of EnergyStar are several.
23 They certainly include it's voluntary market-
24 driven and increasingly international acceptance.
25 It is a partnership, a public/private partnership

1 which is really important as we address not only
2 energy, but environmental issues in general.

3 It captures tvs, along with a wide range
4 of other products, as the Commission knows. There
5 is strong participation by manufacturers. It's
6 well recognized by consumers, more than 70
7 percent, I understand from EPA.

8 It offers a competitive incentive. In
9 other words, it's transforming this market in a
10 way that's competitive. This industry is
11 inherently very competitive. The EnergyStar
12 program provides one more qualification on which
13 to compete.

14 And as I mentioned, importantly it's
15 transitioned now to address a more holistic view
16 of energy consumption, active and standby power
17 mode together.

18 Beyond tvs, EnergyStar has tackled set-
19 top boxes with a new specification, revised
20 specification power supplies. We'll be looking at
21 computers, monitors, and imaging equipment for
22 revised specifications in the near future. So,
23 it's a growing program and it's more active than
24 ever.

25 It is a success story. And to the

1 state's goal, to California's goal of reducing
2 carbon emissions, the EnergyStar program offers a
3 comprehensive solution. And within the EnergyStar
4 program, as this slide illustrates, electronics
5 are an EnergyStar success story.

6 Electronics offer the greatest amount of
7 savings, whether measured in kilowatt hours, or
8 emissions reductions, as indicated here in this
9 chart.

10 So this program called EnergyStar has,
11 over time, proven to be the best and most
12 effective approach for reducing emissions, saving
13 energy. And it's doing this, and I emphasize,
14 without harming innovation, without sacrificing
15 consumer choice, and without impeding product
16 convergence in a way that artificial limits and
17 regulations would.

18 Now I'd like to address in the next
19 couple of slides the specifics and some concerns
20 about PG&E's revised proposal. In its opening, in
21 its introduction to its proposal PG&E states that
22 its report is a comprehensive technical, economic,
23 market and infrastructure presentation of
24 comprehensive information on technical issues,
25 economics and market issues.

1 It, in fact, is not. It's missing a
2 large amount of information which is very relevant
3 to making a decision about this proposal.

4 Particularly with regard to data there's
5 deficiency. This data that's presented in the
6 PG&E proposal is neither a fair nor an accurate
7 representation of what is on the market now, let
8 alone what will be in the market in the near or
9 medium term.

10 As PG&E, itself, admits, all of its
11 datasets are different. There are many relevant
12 variables behind this dataset, including display
13 technology, test procedures, test conditions,
14 display resolution, date of manufacture and so
15 forth.

16 PG&E fairly characterizes the data
17 sources it has cited, but the fact of the matter
18 is there are inconsistencies. And as PG&E again
19 admits, tv models may be represented more than
20 once in this dataset. So you could have
21 duplication or triplication of information.
22 Nobody knows. As they say, it's impossible to
23 distinguish how many unique models there are in
24 this dataset.

25 Further, PG&E acknowledges that there is

1 no accounting in their proposal or in their
2 analysis for natural market improvements. And
3 that would be improvements in existing technology
4 as well as the introduction of new technology. We
5 know for a fact that this goes on in our industry
6 constantly. It is part of the energy efficiency
7 story.

8 Innovation is a driver for energy
9 efficiency. EnergyStar program complements that.
10 Both are working. Both are working now. But,
11 again, the proposal and the analysis offered by
12 PG&E does not account for the dynamic of those
13 approaches.

14 The proposal obviously mandates an
15 arbitrary power limit for televisions in active
16 mode. In its effect it would ban noncompliant
17 products at the expense of innovation,
18 convergence, consumer choice and consumer
19 preference.

20 We noted in the revised proposal that
21 the specification line indicating the EnergyStar
22 program was removed from the graphs. I think they
23 meant to include it. I noted that they included
24 it in their presentation materials today.

25 But the point is, with regard to

1 EnergyStar in comparison to PG&E's proposal, that
2 the PG&E proposal would undermine the very
3 successful and recently developed EnergyStar
4 specification for televisions with further impacts
5 and implications on the EnergyStar program, in
6 general.

7 Again, EnergyStar resulted from a broad
8 collaborative stakeholder effort. The PG&E
9 proposal comes from PG&E and its consultants.

10 I'd like to briefly go over some
11 considerations and issues here and emphasize for
12 the Commission that there are a number of serious
13 issues that are not addressed in this mandatory
14 approach that need to be examined thoroughly.

15 PG&E's proposal, based on our initial
16 analysis, would include 50 to 65 percent of
17 televisions available to consumers today. It
18 would impact all sizes of televisions. But
19 there's a particularly large impact on two classes
20 of tvs, inexpensive flat panel tvs over 40 inches,
21 as well as feature-rich sets over 40 inches.

22 Each of these impacts and all impacts
23 pose particular problems for the consumer market.
24 And I'd like to get into some of those issues in
25 particular.

1 PG&E's proposal does not give thorough
2 analysis or consideration to major issues such as
3 how this would affect consumers, at home, in the
4 store, et cetera. PG&E's proposal does not
5 address potential adverse impacts on retailers,
6 independent dealers, distributors or custom
7 installers whose businesses and livelihood rely on
8 these latest innovations.

9 There's no analysis of adverse impact on
10 commerce, whether that be interstate trade or
11 overseas trade. There's no analysis of adverse
12 impact on innovation.

13 There's also no analysis on tax revenue
14 loss impacts that could affect the state. Taking
15 a few figures here in this slide, we estimate that
16 the impact could be very significant, in the
17 hundreds of millions of dollars annually over the
18 next ten years.

19 If you take the figure of 1.2 million
20 tvs sold in California annually that are over 40
21 inches, and an average selling price of \$1500 for
22 those models over 40 inches, and you apply the
23 sales tax rate of about 7.5 percent, you end up
24 with a figure of \$135 million. And this does not
25 include lost sales tax revenue resulting from lost

1 opportunities to sell accessories for those
2 impacted televisions.

3 This slide is meant to be illustrative,
4 but this is not what we want to see in the
5 marketplace. This is characterized as the impact
6 of the PG&E proposal. It's a view of the store
7 shelf, if you will, under this rather Draconian
8 way to address energy efficiency.

9 It's not the outcome that's appropriate.
10 There are better ways. I think all of us in this
11 room, I hope all of us in this room agree that the
12 goal is energy efficiency. There are different
13 paths to get there. For the tech sector we must
14 look at what is the most appropriate path for
15 transforming the market and getting us to that
16 goal.

17 At this point in the presentation I
18 would like to turn the microphone over to my
19 colleague, Bill Belt, who will review in some
20 detail the proposal that we have put on the record
21 earlier this month. Bill.

22 PRESIDING MEMBER PFANNENSTIEL: Thanks.
23 Before you do that, let me ask a question. I'm
24 not sure if it's best directed to you or to Bill,
25 so help me with this.

1 You did mention, in describing the PG&E
2 proposal, you critiqued the data sources and
3 dataset that they were using. And yet, what we
4 heard from Noah a minute ago was that when the
5 data went to EnergyStar it did so without
6 reference to manufacturer and model number.

7 Now I don't know that those are the same
8 issue, but I do think that I'm really curious
9 about why you took manufacturer and model number
10 off of the data that went into the EnergyStar
11 data.

12 MR. JOHNSON: Sure. I think we can
13 address that through Bill's presentation in a
14 moment.

15 PRESIDING MEMBER PFANNENSTIEL: Okay,
16 great.

17 MR. JOHNSON: I don't want to leave that
18 hanging out there, either. But I think it will
19 come forth in Bill's comments.

20 PRESIDING MEMBER PFANNENSTIEL:
21 Terrific, thank you.

22 MR. JOHNSON: Thank you.

23 MR. BELT: Good afternoon. I'm Bill
24 Belt and I'm Senior Director of Tech Standards at
25 CEA.

1 Let me go straight to your question,
2 actually, so that I don't --

3 ASSOCIATE MEMBER ROSENFELD: Could you
4 just spell that, please.

5 MR. BELT: -- don't forget it.

6 ASSOCIATE MEMBER ROSENFELD: Could you
7 just spell that, please. I'm trying to write --

8 MR. BELT: Yeah, Bill Belt, B-e-l-t.

9 ASSOCIATE MEMBER ROSENFELD: Thank you.

10 MR. BELT: Thank you.

11 The data that we collected when first
12 asked by the EnergyStar folks to do that, that was
13 in, I'm going to think it was late 2006, early
14 2007. We were very pressed for time. Our goal
15 was to get the folks at EPA that data as quickly
16 as possible.

17 At that point in late 2006 it occurred
18 to us that the quickest way to get that data was
19 to promise manufacturers that we would not release
20 their names and their model numbers.

21 So the issue that Doug refers to about
22 the dataset, it isn't the missing manufacturer and
23 model numbers that concern us with the dataset.
24 Because, in fact, I have that information in my
25 desk, you know.

1 It is that there is very little data
2 there relative to what's being sold in the
3 marketplace. It is that much of that data is
4 actually old, the stuff on the market in 2006 is
5 not on the market today. You'd be hard-pressed to
6 find a CRT tv anywhere. There are CRT tvs in
7 there. You'd be very hard-pressed to find the
8 number of DLP tvs that you will see in that
9 dataset. That's a sort of falling segment of the
10 market.

11 This market is characterized by very
12 very rapid innovation. We'll talk some about that
13 today. And so that dataset, of which a third of
14 which was provided by CEA from our members, is
15 generally old, you know.

16 What we care about, what you care about,
17 what Noah cares about, what everybody cares about
18 is not what was sold last year or last month or
19 last quarter. What's going to sell tomorrow, next
20 month a quarter from now, next year, that's the
21 information that we care about. So, --

22 MR. TUTT: So, Bill, --

23 MR. BELT: Yes.

24 MR. TUTT: You say that data is
25 generally old.

1 MR. BELT: That portion of the data
2 provided by CEA.

3 MR. TUTT: Right.

4 MR. BELT: Okay.

5 MR. TUTT: It seemed, from the
6 presentations earlier this afternoon, that the
7 natural trend in the industry was for more
8 efficient televisions to be produced and sold as
9 you move forward in time.

10 So, if that data is old, would current
11 data actually yield lower points on those charts?
12 I mean that's what I would guess, but --

13 MR. BELT: That is one trend, Tim, is
14 for the tvs to become more efficient, all other
15 things being equal. But all other things are not
16 equal. One other trend is that the tvs are
17 growing in size. And that that is the consumer
18 choice of the day.

19 ASSOCIATE MEMBER ROSENFELD: But that's
20 taken care of in the database.

21 MR. BELT: I'm sorry?

22 ASSOCIATE MEMBER ROSENFELD: But that's
23 taken care of, all the plots that we saw today
24 were as a function of size.

25 MR. BELT: They are, of the sizes

1 selling, let's say for the data that was provided
2 by CEA, for the sizes being sold in 2006. And
3 those sizes are growing, and continue to grow.

4 ASSOCIATE MEMBER ROSENFELD: But there's
5 a disconnect here because the proposed tier one
6 and tier two do increase with size.

7 MR. BELT: They do. Tim was asking
8 about a trend, and I'm just addressing a counter-
9 trend to that downward trend. I hope that
10 answered it.

11 Okay, I do want to say one thing before
12 I actually start on my thing, is that I'm grateful
13 that PG&E did the right thing, you know, by me at
14 least, which is to describe what we are seeing in
15 improvements in energy efficiency, improvements
16 that are coming absent of government mandates.

17 They're coming because energy efficiency
18 is, in fact, in the interests of this industry.
19 It's in the interest of all electronic products.
20 The less energy you use, the longer your product
21 is going to last. That's how it works. The less
22 hot it's going to be, the longer it's going to
23 last.

24 And it is a natural trend, natural
25 evolution of products, to become more energy

1 efficient on their own.

2 So, as I said, I'm Senior Director of
3 Tech -- at CEA. I wanted to talk to you about
4 CEA's proposal. We haven't spent a lot of time
5 talking about this today, but we know, sort of the
6 800-pound gorilla is, we're talking about taking
7 tvs off shelves in California. And not much has
8 been said about it at all.

9 CEA has a completely different proposal.
10 Our plan, which we submitted on July 1st, would do
11 the following three things. It would allow
12 utilities to save energy, that's their goal.

13 It would allow consumers to be able to
14 go and buy what they want when they want it with
15 the features that they want; that seems like a
16 logical consumer goal.

17 And finally, it would allow the
18 Commission to be a leader in consumer education
19 and in market analysis. Those are the three goals
20 of the plan that I'm going to describe today.

21 The plan, itself, has three points.
22 Mandatory reporting of energy use data by
23 manufacturers. And I'll spend most of my time
24 talking about that. Energy use disclosures, which
25 is extremely important for consumers. And then an

1 educational campaign.

2 First, and probably most importantly,
3 any manufacturer, our plan is that any
4 manufacturer intending to sell in the State of
5 California a digital tv must submit an energy use
6 declaration for each model prior to sale. That
7 would include the model number, the display
8 technology, the active mode power draw under the
9 IEC standard.

10 This is going to improve market
11 surveillance; it's going to improve the
12 understanding of energy use trends in this state.
13 And it's not going to be mouse data.

14 So, one side -- you know, you'll be able
15 to collect data, lots of data about what is being
16 sold here, how many are being sold here, what's
17 going on in the market. We won't have to guess
18 and second guess data going forward.

19 Disclosure. CEA's already started to
20 work on disclosures. It's in the interest of our
21 industry, we know that, to tell consumers as much
22 as they can about, you know, as much as we can
23 about the product that they want to buy. So we
24 welcome your involvement in letting us know what
25 you think consumers need to know when they go out

1 and buy sets. And how they need to get that
2 information.

3 We use disclosures here because there's
4 lot of ways that people can get their information.
5 They might get it from their set; they might get
6 it from the internet; they might get it from
7 Consumers Report; they might get it from a sticky
8 on the back of the tv. I mean there's lots of
9 ways people can get data and information. And
10 we're interested in learning what you guys know
11 about how people want their data, when they want
12 their data, and what it is they want to know so
13 that they can make informed decisions.

14 And finally, it goes hand-in-hand with
15 education. We want you to partner with us and
16 industry and the rest of the stakeholders on a
17 campaign in California, specific to California,
18 directing consumers at this important and critical
19 time towards EnergyStar-compliant tvs. Especially
20 in advance of the DTV transition.

21 As Doug noted earlier, the time is
22 right. We're heading quickly into major selling
23 events, and that includes the holiday season. It
24 also includes superbowl, that's always a really
25 big time. And, of course, the transition, itself,

1 in February of 09. So those are the key main
2 elements, pretty simple, hopefully, to understand.

3 So, in summary, the key drivers for our
4 market in energy efficiency are innovation and
5 technology advancements that come naturally.
6 Voluntary market-oriented programs and initiatives
7 seem to be the most successful.

8 Our industry is characterized by rapid
9 innovation, a dynamic marketplace, highly
10 competitive industry, significant time-to-market
11 pressures, significant cost pressures, rapid rates
12 of market penetration and rapid transitions from
13 one technology to another.

14 I bring this up because I think it
15 points out some of the key differences between us
16 and white goods.

17 And the problems with regulation of
18 technology is government regulation and mandatory
19 limits can never keep pace with innovation.
20 Product definitions change often. Products
21 converge. New products emerge. Technical
22 complexities, particularly in the consumer
23 electronics industry, makes it harder. And
24 operating modes and functions change often.

25 That's it for our presentation. We're

1 happy to answer questions.

2 PRESIDING MEMBER PFANNENSTIEL: Thank
3 you, Mr. Belt. I just want to say something both
4 to you and to Doug Johnson, and that's that I
5 think it should be real clear that we really
6 support EnergyStar. We are really big believers
7 in EnergyStar; we work with them closely. We
8 think that they have accomplished an enormous
9 amount in brand that works well for American
10 consumers.

11 And so it's not us or them, in fact.
12 And I think that I further want to say that I
13 support your idea of a market-transforming set of
14 working with customers and working with retailers,
15 I think that's fundamental to anything that we're
16 planning to do.

17 So your proposal is fine. We're with
18 you. We're just not sure it's enough. And I
19 think maybe Noah said, let's do both. And I think
20 it really is a question of what is the minimum
21 that we want to do in California, that we should
22 be doing from a technology standpoint.

23 So, with that, I want to thank you.

24 Are there questions?

25 ASSOCIATE MEMBER ROSENFELD: Yeah. I

1 have a very general question for either of you.
2 You may both want to answer. But I'm following up
3 on Commissioner Pfannenstiel's point of view.

4 I'm used to living in a world in which
5 we have both -- in which we have three things,
6 actually. We have energy guide labels which apply
7 to everything. We have EnergyStar brand. And we
8 have standards.

9 Over the years, as I said at the
10 beginning, under these conditions with many
11 revisions, I think we're at our probably seventh
12 refrigerator standard, refrigerators have gone
13 from 180 kilowatt hours a year to 400, even though
14 they grew in size.

15 Lighting comes under standards, so when
16 I got in this business typical commercial lighting
17 was 4 watts a square foot; now it's about .8.

18 Cars have gone from 14 miles per gallon
19 to 28, leaving out the fact that we invented a
20 loophole for the SUV.

21 Can you give me a pep talk on why these
22 two concepts are so inconsistent?

23 MR. JOHNSON: Thank you, Commissioner
24 Rosenfeld. Doug Johnson, again, for the record.

25 I think what you're addressing is what

1 we touched on earlier, in that there are different
2 paradigms here that reach toward the same goal.

3 The Commission's experience, your
4 experience, I believe that you're referring to,
5 has, in large measure, a lot to do with the
6 appliance sector, the white goods sector.

7 Their paradigm supporting transformation
8 toward more energy efficient products, is one in
9 which government regulators play the significant
10 role. I mean, obviously there's manufacturers
11 innovating in certain ways, but the dynamics of
12 that industry, the products, themselves, in many
13 instances are single-function or -feature type
14 products --

15 ASSOCIATE MEMBER ROSENFELD: Well, let
16 me just say, I tried to mention a pretty broad
17 spectrum. I mean I went all the way from
18 automobiles to lighting.

19 MR. JOHNSON: Sure. Then I would expand
20 this to say that for each of these sectors where
21 we need to address energy conservation, energy
22 efficiency, we have to take a careful look at
23 industry dynamics and make a judgment about what
24 paradigm is most appropriate for them.

25 And our position, our argument, our

1 contribution is through the EnergyStar program.
2 That has proven, over time, to be the best way of
3 transforming the electronic sector, encouraging
4 energy efficiency improvements over time, without
5 harming, as I mentioned earlier, innovation,
6 consumer choice, product convergence or other
7 characteristics or qualities that are really
8 important to this sector and to the state.

9 PRESIDING MEMBER PFANNENSTIEL: Do you
10 have a question, Tim?

11 MR. TUTT: If Art's finished.

12 ASSOCIATE MEMBER ROSENFELD: I guess I
13 will make one friendly remark. I think, whether
14 it's an exaggeration or not, I think your picture
15 of a store with lots of black screens is
16 compelling.

17 In the case of automobiles, of course,
18 we have not an individual miles per gallon, but we
19 have a fleet average.

20 I can conceive of permitting in
21 California a limited number of televisions with
22 any load whatsoever. They would have to be
23 labeled. As long as the volume is kept down to a
24 hundredth of a power plant or something like that.

25 But, anyway, Tim, go ahead.

1 MR. TUTT: Thank you, Doug and Bill.
2 May I say I really appreciate you coming. I know
3 that this was not a great day for you guys and
4 it's wonderful to have your participation here.

5 Doug, you mentioned the EnergyStar
6 specification and how tvs will be shipped at
7 factory default settings. I think we're going to
8 get to that issue as we get written comments and
9 as we think further about this.

10 But, it sounded like, from the
11 discussion today, that tvs might have to be
12 shipped in the retail setting unless they have
13 this forced menu innovation, is that correct, do
14 you think?

15 MR. BELT: Tim, I'm going to give what I
16 think is the accurate answer, and then I will go
17 home and double-check it.

18 Tvs can be shipped in any setting the
19 manufacturer chooses to ship it in. And that
20 setting which it chooses to ship it in is the
21 setting in which you will make measurements,
22 unless it has a forced menu option, which forces
23 the consumer, on its first use, to do something
24 different. And then it's sort of default or the
25 first choice that becomes the one that has to be

1 fixed.

2 And if Jon Fairhurst is still on the
3 phone and correct me, that'd be great. Otherwise,
4 Tim, I will double and triple check all this stuff
5 for you.

6 It's more EnergyStar, your question is
7 more about EnergyStar than it is about the IEC
8 standard.

9 MR. TUTT: Okay, we will hopefully
10 double check that as we move forward.

11 Doug, you mentioned the PG&E proposal
12 doesn't take into account issues like a negative
13 impact on consumers. And I think that was right
14 after talking about one of the classes of tvs that
15 are impacted are large-size, inexpensive tvs.

16 I presume they're impacted because they
17 don't meet the standards, they use more energy.
18 And they're inexpensive in part because of, you
19 know, they haven't taken some of the innovations
20 that cost some money to reduce energy use.

21 But, given a first-cost versus a full-
22 cost implication for consumers, wouldn't it
23 actually benefit consumers to remove some of those
24 inefficient tvs from the market?

25 MR. JOHNSON: Let me answer it this way.

1 The impacts are more than just one. And the
2 impact on large screen televisions is more than
3 just an impact on the less expensive. There is an
4 impact on the more expensive feature-rich sets, as
5 well.

6 The impact that the missing analysis
7 here does, in fact, have to do with consumers,
8 inasmuch as retailers and other segments of the
9 marketplace. What's in the consumer's best
10 interest is to deliver energy efficient products
11 in such a way as the consumer has a choice at
12 retail; has options for features that they desire;
13 has a chance to receive the latest and greatest
14 innovations from manufacturers.

15 So that the benefit to the consumers has
16 to do with the delivery of energy efficient
17 products that also meet these other
18 characterizations. There is already a very strong
19 driver in place for reducing costs in our
20 industry, reducing prices for consumers. That is
21 true.

22 And believe me, we will be doing further
23 analysis along the lines of some of these
24 arguments we've illustrated today. But the
25 consumer does benefit in more than one way by the

1 delivery of energy efficient products that do meet
2 these other considerations, too.

3 MR. TUTT: You also then had a slide
4 which indicated you thought there might be some
5 tax revenue impacts. Are you implying from that
6 that there would be less televisions sold in
7 California if we had standards?

8 MR. JOHNSON: PG&E's proposal is, in its
9 impact, would remove a large number of products
10 from the market. And that has significant
11 consequences, not only for consumers, as we just
12 discussed, but for the distribution chain in our
13 industry; for businesses in California; for the
14 manufacturers who are based and located here.

15 These are significant costs that need to
16 be considered. And aren't considered in the
17 PG&E's analysis and proposal.

18 MR. TUTT: Sure, but if those
19 televisions were removed from the market, I mean
20 wouldn't consumers still buy a different
21 television probably --

22 MR. JOHNSON: Sure --

23 MR. TUTT: -- that is on the market?

24 MR. JOHNSON: To your point about tax
25 revenue, if you're reducing the number of sets

1 sold, setting aside the concerns about consumer
2 choice and preferences, if you're reducing the
3 number of sets sold, you're going to see a dropoff
4 in revenue. Sure, there'll be purchases of a
5 smaller subset, but there'll be a loss to the
6 state of the sales tax revenue associated with
7 those purchases. Larger tvs that are foregone by
8 this proposal, so --

9 ASSOCIATE MEMBER ROSENFELD: Doug, can
10 you give an idea how big an effect you think this
11 is? That is, let's supposing the consumers were
12 to buy -- tvs. They go out to the supermarket and
13 a few brands are missing.

14 They went out to buy a tv. My hunch is
15 they're going to buy a tv. And --

16 MR. TUTT: That's what I was indicating,
17 yeah.

18 ASSOCIATE MEMBER ROSENFELD: And they --

19 MR. HUNGERFORD: Using the same budget.
20 They would have the same budget for a tv, spend
21 the same amount of money.

22 ASSOCIATE MEMBER ROSENFELD: Yeah,
23 they've got money burning a hole in their wallet
24 and my impression is that it's a very small number
25 of people who are going to come home and say,

1 golly, I just couldn't find what I wanted.

2 MR. JOHNSON: Well, let me -- at the
3 expense -- I don't want to be repetitious here,
4 but I see a hand in the audience from somebody who
5 can comment on this question. Please.

6 PRESIDING MEMBER PFANNENSTIEL: Yeah,
7 let's see if we can resolve this --

8 MR. SHARP: My name is Mark Sharp with
9 Panasonic. To directly address that question,
10 yes, I don't believe there would be fewer tvs
11 sold, but there would be a lot more sold online
12 from neighboring states. And these all would
13 impact negatively the tax revenues.

14 MR. TUTT: I see. Then returning to
15 your proposal, one part of our proposal is
16 suggesting that we mandate testing and submittal
17 of data by February 17th of next year, which is
18 when the digital transformation happens, right?

19 MR. JOHNSON: Yes.

20 MR. TUTT: And Noah mentioned that, you
21 know, there's going to be a lot of tvs purchased
22 prior to that digital transformation. Why don't
23 we get the data before that? Why that date?

24 MR. JOHNSON: I think that was the
25 initial thought, let's tie it to something that's

1 major and meaningful, and the transition to
2 digital. So, I think that's why we fixed on the
3 February 17th date.

4 I think we have an interest in gathering
5 data sooner than that at CEA, in any case. That's
6 something we should further discuss.

7 MR. TUTT: Okay.

8 MR. JOHNSON: It was an initial date; it
9 made sense in a couple of ways. We can talk about
10 it further.

11 MR. TUTT: And then part two of your
12 proposal involved disclosures to consumers of
13 energy use information. But it doesn't sound like
14 there's a standard being proposed there, or a
15 mandate to do that. It's more of the working with
16 industry to find out the way to do it, is that
17 correct?

18 MR. JOHNSON: Yes. We want, obviously,
19 to give the Commission a seat at the table along
20 with some other parties we're reaching out to now,
21 in the discussions that we're having with regard
22 to a proposed approach.

23 We're operating under, as you know, the
24 federal energy legislation from last year, which
25 does require energy disclosures, but not labeling,

1 per se, but energy disclosures for five categories
2 of products and potentially more.

3 One of those categories is televisions.
4 And so we're suggesting in the second point of our
5 proposal, given your interest in the television
6 category in particular, let's sit down and, you
7 know, get your ideas and thoughts about which
8 direction we should go, based on what you know and
9 the research you've done.

10 For us there's certain elements that
11 need to be in our recommendation. We'd like to
12 build consensus around an approach and deliver
13 that to the Federal Trade Commission, which has
14 the ultimate authority in this case.

15 But it is another opportunity for
16 collaboration.

17 MR. TUTT: Yes.

18 PRESIDING MEMBER PFANNENSTIEL: Thanks.

19 MR. TUTT: Do you know when the Federal
20 Trade Commission is expected to adopt the labeling
21 disclosure requirements?

22 MR. JOHNSON: There's some timelines,
23 but they're a byproduct of taking action in the
24 first place. The Federal Trade Commission has a
25 number of responsibilities coming from the

1 legislation last year, and I believe it's working
2 through those. But plans to address, in the near
3 term, the beginning stages of this rulemaking on
4 energy disclosures for electronics.

5 I do not know exactly when they plan to
6 start that, presumably some time soon.

7 PRESIDING MEMBER PFANNENSTIEL: We have
8 some comments. Noah and Alex.

9 MR. HOROWITZ: Noah Horowitz with NRDC.
10 Doug or Bill, maybe you could help me. I've got
11 two things I want to talk about.

12 You mentioned the adverse consequences
13 on the tax revenue for the state. Earlier in your
14 presentation you said, hey, these tvs, it's going
15 to cost more to make them and the tvs would cost
16 more. So that would, as a noneconomist, suggest
17 that we're going to see more tax revenue, not
18 less.

19 And I agree with Commissioner Rosenfeld,
20 people who are going to buy a tv are going to buy
21 a tv. They're just going to be happening to buy a
22 more efficient one, and per your thesis, that
23 might cost a little more.

24 I don't see how we're losing money.

25 MR. JOHNSON: Well, I think the point is

1 that I thought Mr. Sharp from Panasonic explained
2 that the purchasing patterns may be the same, but
3 the sources for those products could be outside
4 the State of California.

5 There are, in any case, revenue losses
6 to the state resulting from this extreme proposal
7 that's been put forward by PG&E.

8 MR. HOROWITZ: Okay. I think we
9 respectfully disagree on that point.

10 The next one is you have, and kudos to
11 you, you have a very compelling shot of the empty
12 shelves that our consumers will be faced in the
13 state. And I think we've seen from many of your
14 members, whether it's plasma, LCD or these other
15 technologies, they will have a wide range of
16 choices. There will be an efficient alternative
17 for every tv we have today.

18 So I don't know why consumers won't have
19 a choice and won't be able to buy a tv in any form
20 they want.

21 MR. JOHNSON: Two televisions is a
22 choice. And you may be comfortable with that, but
23 most consumers want a wide selection. Most
24 consumers have preferences beyond what you and I
25 prefer for our televisions.

1 So, the important thing is to deliver it
2 to the marketplace, televisions that meet a wide
3 range of preferences, a wide range of household
4 incomes, et cetera.

5 MR. HOROWITZ: Okay, so, again I think
6 more detail is needed. All five panel makers who
7 make all the tvs being sold in this country are
8 going to have models available. So, let's dive
9 in. I'd like to move beyond he-said/he-said.

10 And you mentioned incremental cost. If
11 you have any suggestions on what that incremental
12 cost, we'd love to see that introduced into the
13 record.

14 And similarly, you say feature-rich
15 products won't be available or be able to meet
16 these energy targets. What's the feature and
17 what's the incremental energy use? We'd love to
18 see that so we can have a fact-based discussion.

19 MR. JOHNSON: I'm glad you agree with us
20 that there is a deficiency in the PG&E proposal
21 when it comes to that analysis, and it's
22 definitely worth looking at.

23 PRESIDING MEMBER PFANNENSTIEL: Yeah, I
24 think --

25 MR. HOROWITZ: I didn't say that, but

1 thank you.

2 PRESIDING MEMBER PFANNENSTIEL: I think
3 we do need some additional information here on the
4 record.

5 Alex, you had a comment?

6 MR. CHASE: Alex Chase, Energy
7 Solutions, representing PG&E. I wanted to just
8 address a couple clarifying issues, and then we
9 will provide written responses after this.

10 But the question came up of us relying
11 on old data. And I think I showed an initial
12 slide showing that we were pulling data from about
13 760 datapoints; made all attempts to collect data
14 from EnergyStar, CEA; around the world, Australia,
15 Europe.

16 We did not use all of those datapoints,
17 as Mr. Belt mentioned, some of that data is old,
18 including models from 2006. I think as we
19 mentioned in the revised proposal, we made an
20 attempt to pick models that were available in 2007
21 or later.

22 As was mentioned by both gentlemen, and
23 as I mentioned earlier, we're seeing general
24 trends with each model year across the board,
25 we're seeing more efficiency improvements.

1 A slide I did not show but is provided
2 in the appendix shows kind of an analysis of all
3 the datapoints showing how the efficiency
4 improvements change from 2006, 2007, 2008 model
5 year.

6 Generally the trend is, in terms of
7 percentage of televisions that meet a certain
8 level, whether it be EnergyStar, tier one, of the
9 proposed level increases as you look at the newer
10 and newer model years.

11 So, again, we would be happy to include
12 the net datasets. My sense is, based off the
13 projections, and I haven't seen anything to
14 disagree with this, and if we did, of course, we
15 would consider it, is that when you did a linear
16 progression of the existing tv models, it would
17 show that the models on the market today are more
18 efficient. And generally showing that the market
19 is going to be prepared to meet the tier one
20 levels.

21 The other comment was that the old
22 dataset included CRTs and DLPs. We recognize
23 that, as well. That's in the revised proposal
24 showing projected marketshare of different
25 technologies. We take that into account, and

1 accordingly weight the savings estimates.

2 So the savings estimate of a DLP is
3 going to be different from an LCD, and it's going
4 to be different from a plasma. Since LCDs are
5 roughly, you know, approaching 90 percent of the
6 market, we weight those accordingly.

7 In terms of duplicate tvs, I'd be happy
8 to work with the CEA to scrub those from our
9 dataset provided that we have some sort of way of
10 doing that. If we need to keep it confidential,
11 you know, I'm fully prepared to send our Excel
12 dataset that has each specific television.

13 EnergyStar doesn't tell you the model
14 name or model brand, but it does have an index
15 number for those. So, we could provide that, and
16 show the rest of the dataset. And we'd be more
17 than happy to get rid of any duplicates.

18 But, as I mentioned earlier, some of
19 those duplicates may be the less efficient
20 televisions, as well. So that may be pulling up
21 the dataset.

22 PRESIDING MEMBER PFANNENSTIEL: Thank
23 you, Alex. Gary, then behind you.

24 MR. FERNSTROM: Gary Fernstrom speaking
25 for PG&E. I'd just like to say, spinning off

1 Commissioner Rosenfeld's comments, that PG&E and
2 the other California investor-owned utilities are
3 charged by the Public Utilities Commission to
4 achieve energy efficiency in the state.

5 And we strongly believe that voluntary
6 incentive programs and codes and standards
7 advocacy are both a cost effective part of that
8 program portfolio.

9 Our program manager, Pat Eilert, has
10 written several papers on this issue that have
11 been published by ACEEE attempting to show the
12 relationship and the effective use of both of
13 these strategies.

14 And I'd like to note that CEA's
15 presentation, talking about the PG&E proposal, is
16 only talking about the standards part of our
17 presentation today.

18 We also presented information on a
19 voluntary program that we're planning to
20 undertake. And CEA simply seemed to ignore that
21 part of the presentation.

22 PRESIDING MEMBER PFANNENSTIEL: Thank
23 you, Gary. Yes.

24 MR. SHARP: Mark Sharp with Panasonic.
25 I wanted to make a few points. I'm a little

1 reluctant standing up here at the moment. I feel
2 like no good deed goes unpunished.

3 You've heard the name Panasonic
4 mentioned several times in a very flattering
5 light, and we're very appreciative and
6 acknowledgement from PG&E and NRDC and others
7 about some of our efforts to design more efficient
8 products.

9 I do want to clarify a few points and
10 address a couple of questions that PG&E raised
11 about our products.

12 First of all, the data on the Panasonic
13 models that I saw on the screen, and admittedly
14 it's the first time I've seen the presentation
15 from PG&E, so it's hard to verify, but it does
16 look essentially correct.

17 However, I should point out that the
18 savings projected includes testing being done at
19 the less-consumptive power modes. So I want to
20 make that point clear. I think that addressed one
21 of your direct questions from PG&E.

22 Secondly, there seems to be a battle, if
23 you will, of press releases and exactly where
24 Panasonic's efficiency levels will be at. And I
25 want to try to clarify that to the extent I can.

1 There were several citations, and they
2 weren't all apples-to-apples. There was a couple
3 stories, I think, PG&E cited that were trade press
4 accounts. There were a couple quotes from
5 executives with the company. And a couple
6 citations from press releases. These are all
7 different sources.

8 My understanding and my knowledge, for
9 us, we've announced publicly it's our intention to
10 get through our double efficiency technology for
11 plasma to cut energy costs or consumption, if you
12 will, not costs, by 50 percent. That is our
13 target goal. We haven't set a date specific when
14 we expect to get there.

15 We have stated clearly that we cannot
16 get there until our new state of the art factory
17 is complete. And that's scheduled to be online
18 and in full production approximately May of 2009.

19 Typically it takes anywhere from two to
20 four or five months for products to get from a
21 factory over in Asia to the store shelves. So you
22 have that sort of window or timeframe between when
23 the product is first made and when consumers can
24 actually purchase the product.

25 The reference to the two-thirds cut of

1 energy consumption was specifically a trade press
2 quote, as I looked in the presentation. I've not
3 heard that figure before. I'm not sure that it's
4 ever been made public. I'm not clear in my mind
5 that that's an accurate statement.

6 ASSOCIATE MEMBER ROSENFELD: You just
7 said something about -- also, and I didn't follow
8 that. Now you're saying you're not sure about
9 that two-thirds. But about two minutes ago you
10 mentioned 50 percent, also. What was that? That
11 was a goal?

12 MR. SHARP: What I'm saying is our
13 publicly stated goal is a 50 percent reduction.

14 ASSOCIATE MEMBER ROSENFELD: Okay.

15 MR. SHARP: One of the slides that PG&E
16 showed referenced two-thirds reduction. And
17 obviously you're trying to reconcile which is it.
18 And suggesting that I've not seen that two-thirds
19 figure before. Its citation was from a trade
20 press article, so I'm not sure that it's accurate.

21 ASSOCIATE MEMBER ROSENFELD: Thank you.

22 MR. SHARP: Couple other quick points.
23 This double efficiency technology that we're very
24 proud of, it's predicated on a list of design
25 advances. And they were detailed on one of the

1 slides by PG&E. I believe it was slide 51 if you
2 want to look it up.

3 All these design changes come at a cost.
4 This idea or notion of a zero cost pathway to
5 energy efficiency, it doesn't exist. Everything
6 comes at some cost. And it's up to society to
7 determine what is the appropriate level of cost,
8 in my view.

9 So, I'd like to just kind of take a step
10 back that the zero-cost option is not really an
11 option whatsoever.

12 Another point I want to make is I see --

13 MR. TUTT: Mark, can I stop you a
14 second?

15 MR. SHARP: Sorry, yes.

16 MR. TUTT: Specifically here, I mean we
17 understand there's costs to developing new
18 efficiency technologies and new efficiency methods
19 and so forth.

20 Specifically here I think what they were
21 talking about was a compliance method where you
22 simply change the factory setting, the default
23 setting, from one to another; ship it that way.

24 And I'm struggling to understand what
25 the cost of that is.

1 MR. SHARP: Well, the immediate cost is
2 rather nominal; it's a software change. However,
3 in order to even get close, no matter which
4 measurement level you use, if you use a brightest
5 torch setting, which I hate the phrase, or if you
6 use a less consumptive mode setting, you have to
7 make design changes to your product to achieve
8 efficiency gains.

9 And that's what I'm referring to, this
10 evolution of design changes, new components,
11 circuits, these all come at a cost.

12 A couple other quick points. There's
13 been several references, and I'm not sure why it
14 keeps coming up, there's references to non-high-
15 definition tvs. And I'm really not understanding
16 why we're talking about that.

17 Because as of March 2007, under federal
18 law, every single tv sold, I think above 13
19 inches, has to have a digital or HD tuner. So, I
20 think that's correct. So, you know, why we're
21 talking about non-HD tvs is a mystery to me, quite
22 frankly.

23 Couple other quick points. Noah from
24 NRDC made a comment or a suggestion, you know, why
25 don't we start up in November of -- was it 2009, I

1 believe, as the startup for the effective date of
2 standards?

3 MR. SPEAKER: For tier one.

4 MR. SHARP: For tier one, okay. Noah
5 should be aware of this, and I know he is, the
6 manufacturer production schedule couldn't be
7 further from a November date. Typically new
8 models are showcased, as PG&E pointed out, in
9 January at our trade show. You have all your
10 press releases and everything comes out February
11 or so.

12 The actual production of new models
13 usually comes out in March/April timeframe and is
14 staggered throughout the year.

15 So, if you do insist on a November date,
16 the problem you create is you end up testing
17 models that are just about ready to be replaced by
18 new models and new designs, which presumably would
19 be more efficient. And you'd rather capture the
20 more efficient data, I would think. So, I don't
21 see the value of a November date, quite honestly.

22 And a final point I wanted to make, Tim
23 from PG&E made a comment -- well, he gave a
24 presentation obviously about the rebate program
25 for televisions. It was very interesting to me

1 because I was contacted by PG&E, myself, about
2 three months ago, saying would Panasonic be
3 interested in this type of rebate program as a
4 manufacturer.

5 And I said, yes, we would. I'd like to
6 know more about it, let's talk about it. I
7 haven't heard a word in three months. I walk in
8 today, I see a presentation, we have eight or nine
9 retailers that apparently are interested in
10 participating. That's to PG&E's credit for
11 recruiting them.

12 But, you know, I'm really curious, the
13 statement was made, I believe, that by giving
14 retailers these rebate dollars, that will spark
15 innovation. And I'm struggling to understand how
16 retailers spark innovation. I really think it's
17 the manufacturer that sparks the innovation in
18 product design. So I don't quite understand that.

19 But those are just a few points that I
20 wanted to make. I appreciate your --

21 PRESIDING MEMBER PFANNENSTIEL: On that
22 last point I'd suggest that you talk to PG&E.
23 That program is not under the auspices of this
24 Commission, so. Thank you.

25 MR. SHARP: Thank you.

1 PRESIDING MEMBER PFANNENSTIEL: There's
2 another question right here. No? Somebody on the
3 phone?

4 MR. SPEAKER: Yeah.

5 THE OPERATOR: We do have a question
6 from David Klein. Your line is open.

7 MR. KLEIN: Thank you. This is Dave
8 Klein from JVC. I have two points. First about
9 the database. The television industry is
10 incredibly diverse. There are between 40 and 60
11 manufacturers of televisions sold in the United
12 States today.

13 Each one of those manufacturers has, on
14 average, approximately 20 skews or models. Some
15 have larger. My company, JVC, a small- to medium-
16 sized company, has 20 skews in our product line.
17 Due to that, that's 12 to 1600 skews for just one
18 year.

19 We have 3 to 500 in the database.
20 Technically, the database is a self-selected
21 database. The EnergyStar database was comprised
22 of manufacturers who voluntarily submitted data
23 from their televisions. My company was one of
24 those.

25 Those are the companies who are proudest

1 of their products. Where are the companies that
2 are not the good performers, the folks who are
3 selling the less-than-efficient set? They didn't
4 report to that EnergyStar database. So the
5 database is not only inadequate in size, but it is
6 skewed towards, or is not an accurate
7 representation of the overall industry.

8 I appreciate your letting me talk. I'm
9 phoning in, I wish I could have been there in
10 person. I normally am part of these meetings, and
11 thanks for letting me phone in.

12 PRESIDING MEMBER PFANNENSTIEL: Thank
13 you for participating. Other comments? Somebody
14 else on the phone?

15 THE OPERATOR: No more questions or
16 comments from the phone.

17 PRESIDING MEMBER PFANNENSTIEL: Okay.

18 ASSOCIATE MEMBER ROSENFELD: One in the
19 back there.

20 PRESIDING MEMBER PFANNENSTIEL: Yeah,
21 Noah, one last -- we want to try to wrap this up.

22 MR. HOROWITZ: Yes, Noah Horowitz.
23 Mark, I appreciate your comments. I'd be curious
24 to know with the 50 percent savings would your
25 model be able to meet the tier two standard.

1 Because that's one of the leading plasma makers.

2 If it doesn't, then that line may
3 arguably be adjusted accordingly. We'd love to
4 know where you come in relative to the PG&E
5 proposal. And if there is an incremental cost, we
6 understand the sensitivity.

7 If there can be some dialogue, is that
8 the zero to 10, 10 to 50, 50 to 100, or \$500
9 increment. Because at the end of the day, cost
10 effectiveness is the measure here, and we're
11 unable to assess that.

12 PRESIDING MEMBER PFANNENSTIEL: And I
13 think what we're going to need is a fair amount
14 more hard information. I think, Noah, you're the
15 one who pointed that out. A lot of what we're
16 hearing is anecdotal and it is helpful to sort of
17 assess this at a very large picture, but I think
18 we really need to drill down on many of these,
19 which is the opportunity that we're going to have
20 in written comments.

21 We have asked for written comments by
22 the end of July. And we need some real
23 specificity in them, in terms of what is going to
24 happen.

25 We have one other comment? Yes.

1 THE OPERATOR: Excuse me, there is one
2 on the phone.

3 PRESIDING MEMBER PFANNENSTIEL: Okay,
4 well, excuse me, there's somebody in the room
5 first. And then we'll take the phone comment.

6 MR. AHMED: Jerine Ahmed with San Diego
7 Gas and Electric and Southern California Gas
8 Company. I'm with the Codes and Standards
9 Program.

10 I just wanted to make a comment in
11 supporting PG&E's efforts and the proposal.
12 That's all.

13 PRESIDING MEMBER PFANNENSTIEL: Thank
14 you very much. Okay, on the phone.

15 THE OPERATOR: Randall, your line is
16 open.

17 MR. HIGA: Thank you. My name is
18 Randall Higa with Southern California Edison. I
19 manage the Codes and Standards Program for SCE.
20 I'll also make my comments brief.

21 First, I'm sorry I wasn't able to make
22 it in person, but I would definitely like to
23 express Southern California Edison's support for
24 the PG&E and Energy Solutions television proposal.

25 Although I missed the earlier

1 presentations, I did hear Noah Horowitz and CEA's
2 presentation. And we have seen the data that
3 Energy Solutions and PG&E have pulled together.
4 We feel that the data consistently supports the
5 proposal.

6 And we certainly appreciate the
7 manufacturers advancement of television
8 efficiency, response to the interest in the
9 market. And I also appreciate the proposal for
10 additional consumer and retailer education. I
11 think that will go a long way to meeting our
12 goals.

13 However, I do agree with Commissioner
14 Pfannenstiel's comments that we do need to go
15 beyond that and have standards for televisions.

16 So, that's all I have to say. Thank you
17 very much.

18 PRESIDING MEMBER PFANNENSTIEL: Thank
19 you, Randall.

20 Back to next steps here. We are going
21 to look for another date for the next workshop.
22 But I'd like that to be informed by the comments
23 that are forthcoming.

24 I think we really need to see if there
25 are data issues that we need to address and how we

1 can address them.

2 We need to look at some of the cost
3 consequences and the product, the expectation of
4 product costs and other items that people have
5 raised today that are clearly of great concern to
6 us.

7 But we need to keep moving this forward,
8 to think about what is the program that makes the
9 most sense to the State of California to adopt.

10 Any final comments on what's going on?
11 Art?

12 ASSOCIATE MEMBER ROSENFELD: No.

13 PRESIDING MEMBER PFANNENSTIEL: Tim?

14 ASSOCIATE MEMBER ROSENFELD: Very nice
15 afternoon.

16 MR. TUTT: I guess I just have one final
17 comment, and that's related to the effective dates
18 of standards as we're talking about manufacturing
19 times when it makes sense to set a standard.

20 I think we also need to keep in mind
21 that our standards allow for inventory clearance.
22 So they don't prohibit the sale of televisions
23 above a certain efficiency after that date. They
24 prohibit the sale of televisions manufactured
25 after that date. And you still are allowed to

1 sell some of the televisions that are not as
2 efficient after the effective date. It just has
3 to be, it's the manufacture date that counts.

4 PRESIDING MEMBER PFANNENSTIEL: Anything
5 further? Thank you, all. We'll be adjourned.

6 (Whereupon, at 4:53 p.m., the Committee
7 workshop was adjourned.)

8 --oOo--

CERTIFICATE OF REPORTER

I, PETER PETTY, an Electronic Reporter,
do hereby certify that I am a disinterested person
herein; that I recorded the foregoing California
Energy Commission Committee Workshop; that it was
thereafter transcribed into typewriting.

I further certify that I am not of
counsel or attorney for any of the parties to said
workshop, nor in any way interested in outcome of
said workshop.

IN WITNESS WHEREOF, I have hereunto set
my hand this 31st day of July, 2008.

PETERS SHORTHAND REPORTING CORPORATION (916) 362-2345□