

STAFF WORKSHOP  
BEFORE THE  
CALIFORNIA ENERGY RESOURCES CONSERVATION  
AND DEVELOPMENT COMMISSION

In the Matter of: )  
)  
Preparation of the 2008 Integrated ) Docket No.  
Energy Policy Report Update and ) 08-IEP-1B  
The 2009 Integrated Energy Policy )  
Report )  
)  
Impacts of Higher Levels of )  
Renewables on the Electricity System; )  
Summary of Recent Studies )  
\_\_\_\_\_ )

CALIFORNIA ENERGY COMMISSION  
HEARING ROOM A  
1516 NINTH STREET  
SACRAMENTO, CALIFORNIA

MONDAY, JULY 21, 2008

10:05 A.M.

*ORIGINAL*

Reported by:  
Peter Petty  
Contract No. 150-07-001

DOCKET	
08-IEP-1B	
DATE	JUL 21 2008
RECD.	AUG 06 2008

STAFF PRESENT

Suzanne Korosec

Michael Jaske

Pam Doughman

Donna Parrow

PANELISTS PRESENT

Jan Hamrin  
Center for Resource Solutions

Dora Yen Nakafuji  
Lawrence Livermore National Laboratory

Snuller Price  
Energy and Environmental Economics, Inc.

Jaclyn Marks  
California Public Utilities Commission

ALSO PRESENT

Mark Bolinger (via teleconference)  
Lawrence Berkeley National Laboratory

Bruce Baccei  
Sacramento Municipal Utility District

Jane Turnbull  
League of Women Voters

Merwin Brown  
California Institute for Energy and Environment  
University of California

## I N D E X

	Page
Proceedings	1
Introductions	1
Opening Remarks	1
Suzanne Korosec, CEC Staff	1
Background/Overview	1
Suzanne Korosec, CEC Staff	1
Pam Doughman, CEC Staff	8
Schedule	11
Summary, Studies on 33 Percent Renewables by 2020, Topics 1 through 4	11
Pam Doughman, CEC Staff	11
Presentation, Michael Jaske, CEC	28
Discussion	44
Afternoon Session	80
Summary, Studies on 33 Percent Renewables by 2020 - Topics 5 through 7	80
Pam Doughman, CEC Staff	80
Presentations, Authors of Previous Studies	80
Panel Discussion	163
Public Questions/Comments	188
Wrap-Up	211
Closing Remarks	212
Adjournment	212
Certificate of Reporter	213

1 P R O C E E D I N G S

2 10:05 p.m.

3 MS. KOROSSEC: I'm Suzanne Korosec; I'm  
4 leading the Energy Commission's Integrated Energy  
5 Policy Report effort this cycle.

6 A few housekeeping items just to get us  
7 started. The restrooms are out the double doors  
8 and to your left. There's a snack room on the  
9 second floor at the top of the stairs under the  
10 white awning.

11 And if there's an emergency and we need  
12 to evacuate the building, just follow the staff  
13 out the door to the park across the street and  
14 wait for the all-clear signal.

15 Today's workshop is being webcast, and  
16 for parties who are listening in on the webcast  
17 who may wish to speak, the call-in number is 888-  
18 566-5914; the passcode is IEPR; and the call  
19 leader is myself, Suzanne Korosec.

20 To set the context for today's workshop  
21 the Energy Commission's IEPR Committee, which  
22 consists of Commissioner Byron and Chairman  
23 Pfannenstiel, has directed the staff to evaluate  
24 what physical, operational and market changes will  
25 need to be made to California's electricity system

1 to be able to support higher levels of renewables.

2 While the focus is on 33 percent  
3 renewables by 2020, the Committee also believes we  
4 need to begin looking at system needs for even  
5 higher levels, perhaps even 50 percent by 2050.

6 Expanding the state's renewable  
7 portfolio standard to 33 percent by 2020 is a key  
8 element in the Air Resources Board's preliminary  
9 recommendations for reducing our greenhouse gas  
10 emissions. And the Committee believes that  
11 renewables are also essential to meeting our 2050  
12 greenhouse gas reduction goals.

13 And that both policymakers and  
14 stakeholders need to fully understand the impacts  
15 of moving to these higher levels of renewables.

16 Today's workshop is the first of three  
17 staff workshops on this topic. To begin this  
18 evaluation, today we'll be identifying what  
19 analyses have already been done; what analysis  
20 remains to be done; and what key variables the  
21 Energy Commission needs to focus on in doing our  
22 analyses.

23 These three workshops and the analyses  
24 are an interdivisional effort here at the  
25 Commission with involvement from our siting,

1 efficiency, renewables, electricity analysis and  
2 research and development divisions.

3 In addition, we'll also be coordinating  
4 very closely with the Public Utilities Commission  
5 and the California Independent System Operator, as  
6 well as other stakeholders. But because this is a  
7 statewide issue, and will affect more than the  
8 investor-owned utilities and the Cal-ISO control  
9 area, we'll also be working closely with the  
10 publicly owned utilities.

11 Our intent really is to minimize  
12 duplication of effort to the extent possible; and  
13 to make it easy for stakeholders who may have to  
14 participate in multiple processes.

15 We're beginning this discussion now as  
16 part of the 2008 IEPR update. But because of the  
17 short timeframe for the 08 report, which will be  
18 out in November, the bulk of the analysis will  
19 really be done in the 2009 report. What we're  
20 doing now is just identifying what it is we need  
21 to do, and getting stakeholder buyoff on whether  
22 we're on the right track on how we're going to be  
23 doing our analysis.

24 This is a very complex issue. It will  
25 have significant statewide impacts on grid

1 operation. So the Committee believes we really  
2 need to have a robust analysis on which to base  
3 our conclusions and our recommendations.

4 We're really looking to you, the  
5 stakeholders, to help us understand what variables  
6 we should be focusing on. Obviously, transmission  
7 has been, and continues to be, the primary barrier  
8 to renewables development in the state.

9 However, grid reliability is also a  
10 major consideration. And we need to understand  
11 the operational impacts of integrating large  
12 amounts of renewables.

13 The Committee believe we really need to  
14 fundamentally change the way we operate our grid  
15 to be able to incorporate these levels of  
16 renewables.

17 We've made these kinds of changes in the  
18 past, for example, in the late 70s and early 80s  
19 when we were integrating large numbers of  
20 independent power producers in response to PURPA  
21 requirements.

22 We can also learn from experiences in  
23 Europe where many countries there have  
24 significantly increased their levels of renewables  
25 while maintaining grid reliability. And we need

1 to understand whether and how their strategies can  
2 be applied to California.

3 On the supply side we need to make some  
4 broad assumptions about the potential resource  
5 mix, both renewables and conventional. And that  
6 will have a big impact on where our analysis goes.

7 For renewables, we need to figure out  
8 what the resource mix could be, and also take into  
9 account technology changes and improvements that  
10 will be taking place over time.

11 In the past few years we've seen a lot  
12 of wind resources bidding into utility  
13 solicitations. But then more recently now we're  
14 seeing huge amounts of solar coming in. And I  
15 don't think ten years ago anybody would have  
16 expected 40,000 megawatts of solar projects being  
17 proposed in the state. And we need to think about  
18 what other changes we may see over the next ten  
19 years that we may not be envisioning right now.

20 With the variable nature of these  
21 resources, we're going to need some kind of backup  
22 to maintain grid stability and reliability. And  
23 we need to understand what that backup is going to  
24 be, whether it's natural gas peaking plants, or  
25 energy storage, or demand response measures, or



1       some sort of use of smart grid technologies. Or  
2       is most likely some combination of those.

3               We also need to think about the  
4       potential environmental impacts of siting these  
5       large power plants, and what effect those impacts  
6       will have on the ability of the plants to be  
7       permitted and built.

8               For conventional resources we'll need to  
9       make assumptions about where the existing fleet  
10      will be in 2020. What plants may have retired.  
11      And what replacement power for those plants will  
12      be and where it will be located.

13              We also need to consider policy efforts  
14      to reduce the impacts of once-through cooling at  
15      existing and new power plants, and what effect  
16      that will have on the existing power mix.

17              We'll need to think about retirement and  
18      repowering of aging power plants, and also what  
19      may happen when the nuclear plants come up for  
20      relicensing after 2020. We'll also need to make  
21      assumptions about expected imports, both  
22      conventional and renewable.

23              On the demand side, we'll need to make  
24      some assumptions about the amount of energy  
25      efficiency we expect to see in 2020, and how that

1 will effect electricity demand.

2 We will also need to consider the effect  
3 of demand of the electrification of the  
4 transportation system, both with increased  
5 electric vehicles and of the state's port  
6 facilities.

7 We need to consider how much demand  
8 response technologies and strategies can  
9 contribute to offsetting the effects of large  
10 amounts of variable renewables.

11 There are emerging technologies that can  
12 improve grid stability, or provide backup in the  
13 form of energy storage. But we need to understand  
14 what those technologies are in terms of  
15 development and commercialization. And what the  
16 costs will be, and how much they'll realistically  
17 be able to contribute by 2020.

18 On the cost side, we need to understand  
19 the potential costs of integrating large amounts  
20 of renewables, with the primary question being  
21 costs compared to what. With natural gas prices  
22 continuing to increase and continuing to be  
23 extremely volatile, renewable generation may  
24 become more competitive in the future.

25 We need to understand the impacts of

1       renewables in reducing natural gas demand and  
2       price. And also recognize the value of renewables  
3       in providing a hedge against natural gas  
4       volatility.

5               We also need to consider the costs of  
6       climate change when evaluating the costs of  
7       integrating renewables, as well as the potential  
8       costs that will be associated with meeting the  
9       state's greenhouse gas reduction goals.

10              So, that's a very quick and dirty view  
11       of the things we'll be looking at. And we do  
12       recognize it's a very complex issue, and that's  
13       why we need your input of where we should be  
14       focusing our analytic efforts and coming up with a  
15       set of reasonable assumptions to use in evaluating  
16       this issue.

17              And with that I'll turn it over to Pam  
18       Doughman to begin today's discussion.

19              Thank you.

20              MS. DOUGHMAN: Thank you, Suzanne. The  
21       agenda for today is in two parts. We have seven  
22       topics that we will be discussing. And we will  
23       discuss the first four topics in the morning; then  
24       break for lunch; and then have topics 5 through 7.

25              So, I'm going to give a brief overview

1 of topics 1 through 4. Then we will have a panel  
2 discussion and public comment on those topics.

3 Then we'll do, after lunch, we'll have a  
4 series of presentations from authors of previous  
5 studies on the topic of achieving 33 percent  
6 renewables. And then I will finish up with an  
7 overview of topic 6 and 7. Then we'll have a  
8 panel discussion on topics 5 through 7 and public  
9 comment.

10 So, we're kind of going through the  
11 presentation panel discussion loop twice. That's  
12 the plan for today.

13 So, topics 1 through 4. First, what are  
14 we talking about, 33 percent of what. I'm just  
15 going to walk through what that means. Estimating  
16 33 percent of statewide retail sales for 2020.

17 Then I will compare resource mix  
18 scenarios that have been used in recent studies on  
19 achieving 33 percent.

20 Then briefly I will talk about the  
21 impacts of contract delays or cancellations on  
22 meeting existing renewable portfolio standard  
23 goals.

24 And then number 4, I will talk about the  
25 range of potential wholesale and retail price

1 impacts and strategies to mitigate negative  
2 impacts. I'll talk about the range of assumptions  
3 and levelized costs in the recent studies on  
4 achieving 33 percent renewables.

5 But before I go any further I want to  
6 thank everyone for coming today. And I see we  
7 have a full house. And I look forward to your  
8 comments.

9 So, then the topics for the afternoon.  
10 Topic number 5 is to go over operational and  
11 physical changes needed to integrate renewables  
12 while maintaining reliability, including  
13 discussion of when those changes would be needed  
14 and at what level of renewable penetration.

15 And in that discussion our invited  
16 speakers will discuss the impacts of using peaker  
17 plants; the potential and the need for energy  
18 storage technologies to help maintain grid  
19 reliability.

20 Then I have a presentation prepared by  
21 Mark Bolinger and Ryan Wiser regarding potential  
22 impacts on natural gas demand, supply and price.  
23 Mark Bolinger will be available to answer  
24 questions on the phone, but I'll be walking  
25 through the slides with you here.

1                   And then I'll provide a brief overview  
2                   of the environmental concerns and studies that  
3                   discuss mitigation for developing large-scale  
4                   renewable facilities.

5                   As Suzanne mentioned, this is the first  
6                   of three workshops. The second workshop will be  
7                   on July 23rd. And that workshop will discuss  
8                   transmission issues for 33 percent renewable  
9                   energy by 2020, including a discussion of the RETI  
10                  initiative and related activities.

11                  On July 31 the Public Interest Energy  
12                  Research group here at the Energy Commission will  
13                  discuss research and development needs and  
14                  enabling technologies for integration of high  
15                  levels of renewable energy into the electricity  
16                  system.

17                  And then August 21, we will have an IEPR  
18                  Committee workshop. And that workshop will  
19                  integrate and discuss the public comments, the  
20                  findings, the presentations that have been  
21                  presented here at these three staff workshops.

22                  Okay, on to the first topic. Estimating  
23                  33 percent of statewide retail sales for 2020.  
24                  Now, the different studies have approached this  
25                  according to the purpose, if they're focusing on

1       how the investor-owned utilities can meet 33  
2       percent, then the estimate is what does it mean in  
3       the IOU context.

4               But the goal is intended to be  
5       statewide, and so in combination we need to have a  
6       series of studies that are looking at different  
7       particular groups, publicly owned utilities, IOUs,  
8       different impacts in different regions of the  
9       state. And we need to see how it all fits  
10      together statewide.

11             So, I have an excerpt here from the  
12      California Public Resources Code that just points  
13      out that it is the intent of the Legislature, in  
14      establishing the renewable portfolio standard, to  
15      increase the amount of electricity generated from  
16      eligible renewable energy resources per year so  
17      that it equals at least 20 percent of total retail  
18      sales of electricity in California. So it's 20  
19      percent by 2010.

20             And, of course, the law has very  
21      specific set of requirements for investor-owned  
22      utilities, retail sellers, and then requires  
23      publicly owned utilities to develop similar  
24      renewable energy programs.

25             And then in the Governor's response to

1 the 2003 IEPR and the 2004 IEPR update, he wrote:  
2 Beyond 2010 the goal of achieving 33 percent of  
3 our energy from renewable resources by 2020 is  
4 possible, but we must work together to determine  
5 the most effective means of attaining this goal.

6 All energy suppliers, including  
7 municipal utilities energy service providers and  
8 community choice aggregators should meet the same  
9 renewable energy goals required of investor-owned  
10 utilities.

11 So, in that context we're looking at a  
12 statewide estimate of 33 percent of retail sales  
13 of electricity by 2020.

14 So, in making that calculation we based  
15 our estimate on this source here, California  
16 Energy Demand 2008 through 2018. And I have the  
17 link here.

18 So, the estimate for statewide retail  
19 sales in 2020 is just over 308,000 gigawatt hours  
20 delivered to end users. So a third of that is  
21 about 102,000 gigawatt hours statewide. This  
22 excludes non RPS deliveries from CDWR, WAPA and  
23 MWD.

24 Energy efficiency and distributed  
25 generation beyond the amount included in the



1 forecast would reduce retail sales and reduce the  
2 renewable energy required for 33 percent of retail  
3 sales by 2020. Estimates of generation to meet  
4 this requirement must take transmission lines into  
5 account.

6 Okay, now this slide compares the  
7 resource mix scenarios by technology. And so we  
8 have on the bottom, solar; the different levels of  
9 solar that are included in the resource scenarios  
10 in the study completed by the Center for Resource  
11 Solutions for the CPUC in 2005. Now, that study  
12 was for investor-owned utilities only. And it  
13 assumed 20 percent by 2010 was already achieved.

14 Then we had in 2007 the Energy  
15 Commission published the Intermittency Analysis  
16 Project. And the scenario there was looking at  
17 the role, how the statewide grid would need to  
18 adjust to a high level of penetration.

19 So when they were compiling their  
20 scenario they were adding resources while  
21 maintaining grid reliability in their modeling  
22 process. And so where they could add additional  
23 intermittent resources, that was the preference.

24 And then also in 2007 the Energy  
25 Commission prepared a scenarios analysis project.

1 And we have the scenario that they used on this  
2 chart, as well.

3 And then this year, E3 has prepared a  
4 greenhouse gas model. And in that model they have  
5 included a high renewables, high efficiency  
6 scenario. And this is the resource mix for  
7 renewables that's included in that scenario. That  
8 model is designed to allow the user to input their  
9 own scenarios. But this is the particular model  
10 that they have presented so far.

11 So this is the same, but this is in  
12 terms of energy. The previous slide showed the  
13 resource mix in terms of megawatts. And something  
14 I want to call to your attention is there is a  
15 goal to have 20 percent of the state's RPS met  
16 through biomass and biogas. And so one area for  
17 additional research is to look at really modeling  
18 how to achieve that, and how that might affect  
19 some of the results of previous scenarios.

20 And this just summarizes some of the  
21 renewable energy goals in the state, putting the  
22 concepts in terms of energy. So, we see that in  
23 2010 achieving 20 percent renewable energy, 20  
24 percent of retail sales is about 55,000 gigawatt  
25 hours. Increasing that to 33 percent by 2020

1 requires a total of 102,000 gigawatt hours.

2 We also have the California Solar  
3 Initiative which is for 3000 megawatts of new  
4 solar. And that would mean about 4000 gigawatt  
5 hours.

6 Then we have the state bioenergy goal  
7 from executive order S0606. And that is for 20  
8 percent of the RPS from biopower, which is  
9 equivalent to about 11,000 gigawatt hours in 2010.  
10 And then 20 percent of the 33 percent goal would  
11 be about 20,000 gigawatt hours from biopower.

12 Then also, as Suzanne Korosec mentioned  
13 earlier, renewable energy and 33 percent by 2020  
14 is an important part of efforts to reduce  
15 greenhouse gas emissions. And so this slide shows  
16 how the different goals renewable energy, what  
17 they mean in terms of gigawatt hours.

18 Okay. So part of our purpose today is  
19 to summarize what we know so far and then to think  
20 about additional scenarios and additional analysis  
21 that we need to fully understand and anticipate  
22 the changes that will be needed in the electricity  
23 system to accommodate 33 percent renewables by  
24 2020.

25 So, there are a number of uncertainties

1       that we need to take into account. And Suzanne  
2       Korosec introduced many of these. For example,  
3       once-through cooling, greenhouse gas emission  
4       policies, fuel and development costs and to really  
5       understand the impacts that these different  
6       uncertainties may have. A rigorous study of the  
7       electricity system needs to include examination of  
8       a range of different renewable and conventional  
9       generation mixes to insure system stability at the  
10      least cost possible, remembering to compare the  
11      costs to the costs of the impacts of climate  
12      change.

13               So, keeping in mind compared to what.  
14      You know, what will natural gas prices look like  
15      in 2020, and what are some of the uncertainties  
16      surrounding those issues.

17               Okay, so keeping in mind that this is a  
18      statewide goal, I have a brief comparison here of  
19      publicly owned utilities and investor-owned  
20      utilities, renewable energy contracts and  
21      projects.

22               And the existing resource mix varies by  
23      utility, and varies quite widely among publicly  
24      owned utilities. Some of the publicly owned  
25      utilities already have very high levels of

1 renewable energy, and others still have a fairly  
2 greenhouse gas intense resource mix.

3 And many of the publicly owned utilities  
4 have already established very impressive targets  
5 for renewable energy, including 33 percent by  
6 2020. And even, I think, beyond that target in  
7 some cases.

8 Here I have some excerpts from the 2007  
9 Integrated Energy Policy Report just pointing out  
10 that the publicly owned utilities have been  
11 procuring increasing levels of renewable energy  
12 and I have some of the numbers here.

13 As a note, new publicly owned utility  
14 wind projects make up almost all of their new  
15 capacity with the two largest projects located  
16 outside of California.

17 As of July 2007 more than 550 megawatts  
18 of the contracted new capacity was online and  
19 delivering energy to the California publicly owned  
20 utilities, while only 324 megawatts of new  
21 repowered or restarted RPS capacity contracted by  
22 the investor-owned utilities were online as of  
23 early August.

24 This slide compares the contract status  
25 of the different investor-owned utilities, the

1 large three investor-owned utilities in California  
2 for new, repowered or restarted capacity from  
3 contracts signed since 2002 by the minimum levels  
4 of megawatts in those contracts.

5 And the green at the top of each bar  
6 shows the percentage of contracts that are online  
7 or on track but not online. And you can see the  
8 large majority, in all but the case of San Diego  
9 Gas and Electric, are on track but not online.

10 And then we have, in white, at the lower  
11 end of each bar the amount of megawatts, or the  
12 proportion of contracts that are delayed. And  
13 most of those are delayed and not online.

14 And this slide breaks out the same  
15 information by technology. So we see that much of  
16 the delay is in wind projects and also solar  
17 thermal.

18 This slide is from the CPUC, their  
19 report to the Legislature from April 2008  
20 regarding renewable portfolio standard progress in  
21 achieving the renewable portfolio standard for the  
22 investor-owned utilities.

23 And they have analyzed the contracts,  
24 and they have, in this graph they show the target  
25 of 20 percent of expected IOU retail sales at

1       about 34,800 gigawatt hours. And they show the  
2       contracts in different levels of risk. And so  
3       they show low risk, medium risk, high risk and  
4       2007 short list not yet rated.

5               So this, I think, shows where we are and  
6       what we have in the pipeline, and the risk  
7       associated with the contracts that are in the  
8       pipeline for the investor-owned utilities.

9               The CPUC also analyzed the risk factors  
10       for 2010 RPS generation. And the PTC, the  
11       availability of the production tax credit is the  
12       number one risk factor in terms of the percent of  
13       2010 generation that's affected by this factor.

14              Transmission is the second. Other  
15       factors include developer risk factors, financing,  
16       site control, permitting, a price reopener,  
17       military radar, technology, fuel supply and  
18       equipment procurement.

19              This slide compares levelized costs that  
20       have been reported in the different analyses  
21       conducted so far. These are cost of generation in  
22       terms of 2008 dollars for renewables needed to  
23       achieve 33 percent by 2020.

24              And so we can see in the fine print at  
25       the bottom we've listed the studies included in

1       this comparison. And some of these studies  
2       included a broader range of technologies than  
3       other of the studies.

4               And so for biomass, IGCC, for example,  
5       there were only a few studies that included an  
6       estimate for that cost. So the narrowness of the  
7       range reflects the number of studies, rather than  
8       the certainty regarding the price. But this gives  
9       a general ballpark perspective on what are the  
10      costs that the studies have published -- the  
11      studies have found so far. For wind, landfill  
12      gas, geothermal, solar parabolic trough, biomass  
13      stoker, biomass IGCC and anaerobic digestion.

14             Now, it's very important to keep in mind  
15      that when you're estimating levelized costs you  
16      need to have a number of input assumptions. And  
17      this slide shows the effect that different input  
18      assumptions can have on your calculation of the  
19      levelized costs. And I've tried to put these all  
20      to scale so you can see capacity factor is one of  
21      the largest or the input assumption that has the  
22      largest effect on the resulting estimate of  
23      levelized costs.

24             And so the studies vary in their input  
25      assumptions, and that affects their estimate of



1 the levelized costs of generation.

2 Here is a set of supply curves prepared  
3 by E3 for 20 percent and 33 percent RPS. The  
4 bottom set of curves shows the net cost, which is  
5 the total cost less displaced energy and capacity.  
6 And then the top set of curves shows the total  
7 cost, including buss bar transmission and  
8 integration costs.

9 So, it looks like geothermal, wind are  
10 the lower costs for achieving 20 percent by 2010.  
11 For achieving additional renewables to achieve the  
12 33 percent by 2020 target, biogas is estimated to  
13 have the lowest cost, followed by wind, geothermal  
14 and solar thermal. And biomass has a relatively  
15 high total cost in the E3 supply curve shown here.

16 Regarding potential retail price  
17 impacts, the report prepared by the Center for  
18 Resource Studies for the CPUC in 2005 had the  
19 results shown here. And they're showing that over  
20 the long run renewable energy have a beneficial  
21 net impact on costs to ratepayers, costs to  
22 California ratepayers.

23 And here we have potential retail price  
24 impacts from the E3 study. And they show that the  
25 total investment costs increased from about \$24

1 billion to about 60, when we're moving from 20  
2 percent RPS to 33 percent RPS. They show the  
3 change in rates and costs between 2008 and 2020 in  
4 real terms, the change in rates for 20 percent RPS  
5 they show at 13 percent, and the change in rates  
6 for 33 percent RPS they show at 17 percent.

7 Okay, and that concludes my introductory  
8 presentation, which was intended to give the  
9 people attending today's workshop an overview of  
10 what the studies have found so far in looking at  
11 achieving 33 percent regarding the first four  
12 topics for today's workshop.

13 So, now we're going to have a brief  
14 discussion of the findings in the scenario  
15 analysis project for the first four topics. And  
16 before we do that, let me briefly introduce the  
17 panel.

18 We have -- I'm very happy that everyone  
19 was able to participate. We have quite an expert  
20 group here. Dr. Michael Jaske is a Senior Policy  
21 Analyst in the electricity supply analysis  
22 division of the California Energy Commission. For  
23 20 years he was the Chief Demand Forecaster giving  
24 technical direction for the Commission Staff's  
25 independent demand forecast.

1           Dr. Jaske plays an active role in the  
2       development and advocacy of the Energy  
3       Commission's positions on retail market structure,  
4       resource adequacy and other planning processes.

5           Dr. Jaske has been involved in numerous  
6       collaborative efforts between the Energy  
7       Commission and the CPUC. And he has testified  
8       numerous times before the Energy Commission, the  
9       CPUC and other California agencies.

10          He is also a participant in the WECC  
11       loads and resource subcommittee, developing a  
12       resource adequacy methodology for the WECC. Along  
13       with his work as a member of the IEEE Power  
14       Engineering Society, he serves -- in that group he  
15       serves on the energy policy committee of the IEEE  
16       USA to educate national policymakers on  
17       electricity issues.

18          The second member of our panel is Dr.  
19       Jan Hamrin. And today she is representing CRS,  
20       the Center for Resource Solutions. Dr. Hamrin is  
21       CEO of HMW International, a consulting firm  
22       specializing in implementation of sustainability  
23       energy policies. She is the past president of the  
24       Center for Resource Solutions, a nonprofit  
25       organization created to foster leadership in the

1 implementation of clean energy and sustainable  
2 development practices through education, training  
3 and expert assistance.

4 Jan's work has provided policy and  
5 technical support for the implementation of  
6 renewable energy and energy efficiency programs  
7 throughout North America and globally.

8 Internationally, Jan was a key expert in  
9 the development of a renewable energy law in  
10 China. She has also worked on renewables, energy  
11 efficiency, and climate policy in Mexico, Brazil,  
12 Europe and elsewhere.

13 She has co-authored numerous  
14 publications and serves on Advisory Committee for  
15 the International Energy Agency, the Commission  
16 for Environmental Cooperation, the U.S. Department  
17 of Energy and others.

18 The next member of our panel is Dr. Dora  
19 Yen Nakafuji. She is a Staff Researcher at  
20 Lawrence Livermore National Laboratory, working in  
21 the National Security Engineering Division and  
22 leads the National Transmission and Energy  
23 Resilience Response Analysis Effort, which helps  
24 evaluate the risk and vulnerabilities related to  
25 the evolving power grid.

1                   Her area of focus include renewable  
2           energy and technology, transportation and  
3           operational system analysis. And she served at  
4           the Technical Lead for the Public Interest Energy  
5           Research Wind Energy Program, and Renewable  
6           Integration Initiative at the California Energy  
7           Commission.

8                   Prior to that she worked as a technical  
9           consultant in the high-tech electronics and  
10          aerospace industries.

11                  Then our next panelist is David Hawkins.  
12          He is Principal Engineer working in Operations.  
13          He is a principal investigator for the integration  
14          of renewable resources at the Cal-ISO. The Cal-  
15          ISO has a major project to assess the operational  
16          impact on intermittent resources such as wind  
17          generation. The objective is to identify  
18          potential grid operations, market operations and  
19          transmission issues and develop strategies to  
20          mitigate these issues.

21                  He is also responsible for assessment of  
22          new technologies such as storage technology and  
23          their potential application for solving operating  
24          issues.

25                  He has served on many professional and

1 industrial committees and is current the Past  
2 Chair of the WECC Performance Work Group, and  
3 Chair of the Wide Area Measurement Task Force.

4 And then we have Snuller Price. Snuller  
5 Price is a partner with Energy and Environmental  
6 Economics, Incorporated. He leads the E3  
7 consulting team on GHG modeling for the joint  
8 CPUC/Energy Commission GHG docket. He has 15  
9 years of experience supporting utility, state and  
10 federal government clients with resource planning,  
11 including integration of distributed resources,  
12 energy efficiency, distributed generation and  
13 demand response into resource planning.

14 He supports the market price referent  
15 proceeding at the CPUC and has supported the  
16 Energy Commission renewable program in the past.

17 And then our last panelist is Jaclyn  
18 Marks. Jaclyn Marks is in the Energy Division at  
19 the CPUC. She is a member of the renewable  
20 portfolio standard team. She is a policy analyst,  
21 and works on policy design and implementation of  
22 the RPS.

23 Her projects include analysis of a 33  
24 percent RPS energy technology innovation and  
25 review of RPS power purchase agreements.

1                   Jaclyn holds a masters degree in public  
2                   policy from the Harvard Kennedy School. And  
3                   earned her under-graduate degree from the  
4                   University of Wisconsin at Madison.

5                   So, I took the time to go through the  
6                   bios. I know that's kind of unusual, but we  
7                   have -- I just wanted you to understand the  
8                   background, the expertise of the panelists here.  
9                   And certainly we look forward -- I know we have  
10                  many experts in the audience here, and so we look  
11                  forward to a stimulating exchange of dialogue.

12                  And what we're planning to do is first  
13                  have a presentation by Dr. Jaske. And then we'll  
14                  switch to a conversational format with the  
15                  panelists discussing the questions in the notice  
16                  for the workshop on topics 1 through 4. Then  
17                  we'll have public comment regarding those topics.

18                  (Pause.)

19                  DR. JASKE: Good morning, everyone. For  
20                  the record my name is Mike Jaske. And what I'm  
21                  going to do here this morning is give an overview  
22                  of the scenario analyses project that was  
23                  undertaken as part of the 2007 IEPR during the  
24                  course of 2007.

25                  There were four workshops that were

1 conducted as part of the 2007 IEPR, either wholly  
2 or partly addressing this particular project. And  
3 it ended up being showcased quite a bit in the  
4 IEPR, itself, as a way of examining high energy  
5 efficiency, high renewable approach to greenhouse  
6 gas reduction.

7 So to understand this study to have been  
8 a what-if project. We were not attempting to  
9 declare that high efficiency or high renewables,  
10 which will be the focus today, of course, would  
11 happen on the schedule. And to the extent that  
12 was assumed in the various scenarios, they were  
13 thought to be feasible; they were thought to be  
14 roughly cost effective.

15 So, given those presumptions we  
16 developed scenarios; and our main emphasis was  
17 really on this first sub-bullet of trying to  
18 understand the CO2 consequences of pursuing these  
19 preferred resource strategies in large volumes.

20 And this study was also done on a WECC-  
21 wide basis. There were specific scenarios for  
22 California along, or for all of the west. And one  
23 of the objectives of doing that analysis was to  
24 better understand how imports would change through  
25 these quite high penetrations of efficiency and



1 renewables.

2           So, very quickly, you know, we  
3 identified the broad themes of our scenarios; set  
4 about to develop the detailed assumptions that  
5 would be necessary for production costs sort of  
6 project, because that was our tool for developing  
7 results.

8           We started with a basecase that, in  
9 fact, was what was in the Global Energy, now  
10 Vintex, fall 2006 reference case; tweaked that a  
11 little bit to make it conform to some Commission  
12 Staff preferred assumptions.

13           And then as we developed the various  
14 preferred resources or scenarios we were sort of  
15 generally backing out the generic editions of that  
16 initial case, adding in the detailed assumptions  
17 of a particular case; verifying that the dataset  
18 satisfied resource adequacy protocol, which I'll  
19 talk more about this afternoon; prepared the  
20 dataset; run it; review it.

21           And then we did some limited analysis or  
22 sensitivity to fuel prices and hydro. And those -  
23 - all of these results are documented in detail  
24 still in the form of the preliminary staff  
25 documentation. The final documentation we had

1 expected to publish by now, but it is imminent  
2 within a few weeks and will be up on the website.

3 So just to remind you, the three broad  
4 preferred resource categories and the sources of  
5 those assumptions. For energy efficiency, those  
6 are shown for extensive penetration of rooftop  
7 solar PV in concert with the objectives of the  
8 California Solar Initiative. There have been a  
9 number of studies done for that through PIER  
10 primarily. There were also some studies that  
11 Navigant did for the Arizona Department of  
12 Commerce, and we made use of those.

13 And then in the supply side portion of  
14 renewables, of course, there's the IEP project.  
15 And we drew upon that to a considerable extent, as  
16 the framework for our assumptions. And then also  
17 on a westwide basis for the Clean and Diversified  
18 Energy Analysis Consortium that worked pursuant to  
19 the Western Governors Association objective to  
20 create an analysis to show a high renewables case.

21 So we drew upon, for focus on renewables  
22 here today, on the IEP and the CDEAC studies for  
23 many of our underlying renewable generating  
24 assumptions.

25 We were focusing on renewables and

1       pursuing high penetrations of them. We were not  
2       investigating the details of RPS requirements.  
3       And so all of the minutiae of what RPS means, you  
4       know, what amount of load, you calculate it  
5       relative to do you even worry about whether you're  
6       satisfying exactly 33 percent of something. Those  
7       were not things that we were particularly focused  
8       on.

9               We, of course, recognize that  
10       transmission development is necessary for  
11       virtually all of these resources. Everyone's now  
12       aware of that. We attempted to do some degree of  
13       transmission analysis. We, I would say, made an  
14       approximation of that at the workshops. A number  
15       of the shortcomings we were reminded of, and we  
16       acknowledged those limitations. And other studies  
17       are attempting to move on and beyond.

18              Clearly there are many operational and  
19       reliability issues associated with some forms of  
20       renewables, some technologies. Those were  
21       addressed, to some degree, in this study. And  
22       I'll get into the resource adequacy aspect of that  
23       this afternoon.

24              Clearly an issue is the detail of what  
25       it means for intermittent generation to be at high

1 levels and how various forms of backup resource  
2 are necessary in order to address the variability  
3 of such intermittent resources.

4 We did not study in the scenarios  
5 project the cycle-by-cycle, minute-by-minute,  
6 hour-by-hour variation. Rather, we focused at the  
7 planning level how these things performed  
8 differentially across the seasons of the year, the  
9 months of the year and dealt with that through our  
10 resource adequacy protocol.

11 And similarly, we applied that same kind  
12 of concept in our analysis of high renewables in  
13 the rest of WECC, but our primary assumption again  
14 came from the CDEAC results not any independent  
15 analysis of renewables out there in the rest of  
16 the west.

17 So, a thing to keep in mind about the  
18 study is that we encountered many uncertainties,  
19 some of them were anticipated, some were not.  
20 There's a whole range of things that were excluded  
21 simply by the focus of the design of the study.

22 For example, we were conducting a  
23 physical study; we were not examining the  
24 requirements for individual LSEs and all of the  
25 contractual issues associated with LSEs satisfying

1 RPS. Rather we were doing a physical study of  
2 renewables or energy efficiency or both of them,  
3 and looking more at the broad system consequences  
4 as opposed to LSEs.

5 So that means that our results are --  
6 the design of the study, itself, precludes certain  
7 conclusions about individual LSE ramifications.

8 It was thought at the time that this  
9 would be a starting point for some more useful  
10 studies that the staff might undertake in the next  
11 cycle. And, in fact, that happened more quickly  
12 in the form of the GHG study that E3 undertook as  
13 part of the PUC. Sort of loosely started from the  
14 same kinds of high renewable, high efficiency  
15 assumptions that we had, and moved on from there  
16 to examine more LSE-specific details.

17 We found that there was a major change  
18 in the portion of imports that are short-term  
19 market purchase, not linked to the individual  
20 remote resources that are owned by LSEs. And  
21 indicated that a necessary followup with more  
22 detailed examination of this whole issue. And I'm  
23 not sure that that has yet been undertaken by any  
24 subsequent study.

25 And additionally, we found a lot of

1 variation in predicted CO2 emissions from  
2 hydroelectric production variation. And that's an  
3 element that needs to be taken into account in the  
4 design of the electricity sector's requirements;  
5 can satisfy AB-32 goals. And that's the kind of  
6 detail, I think, has yet to be surfaced in the ARB  
7 process.

8 So, here is the source of the  
9 preliminary documentation. As I said, the final  
10 report will be posted very soon.

11 Now, let me turn, after that brief  
12 introduction to the overall study, to how it  
13 addresses the specific questions in our agenda and  
14 the notice for today's workshop.

15 So in the broad area of questions 2a, b  
16 and c, let me just indicate how it is we  
17 constructed our scenario. So in the end there  
18 were 13 of them. We actually started off doing  
19 nine, but in response to questions from  
20 Commissioners, we ended up doing two more energy  
21 efficiency scenarios and then two more composite  
22 scenarios that had both efficiency and the case 4a  
23 level.

24 So, these numbers, as they increase,  
25 indicate generally the threes are the energy

1 efficiency, the fours are renewables, the fives  
2 are combinations. The a means California, the b  
3 means westwide. The d and e's are what were added  
4 in response to the Commissioner requests. So they  
5 were the last ones done.

6 This chart will indicate the magnitude  
7 of the energy efficiency and the renewables  
8 assumptions. So, as you're reading this chart  
9 with energy efficiency on the horizontal axis and  
10 renewables on the vertical axis, you can see sort  
11 of in the middle of the chart is the case 1b.  
12 That's the case that would imply moving forward  
13 with the kind of requirements that were going to  
14 be placed on utilities through existing RPS  
15 statute or existing energy efficiency program  
16 authorizations.

17 And then you can see for the efficiency  
18 side, moving from case 1b over further and further  
19 to the right there are increased levels of energy  
20 efficiency savings.

21 And then in the case of renewables,  
22 going back to case 1b in the center, rising  
23 vertically that's the incremental renewables  
24 assumption in case 4a. And then from that point  
25 going further to the right you see the case 5a, d

1       and e.

2               So, here is a fundamental difference  
3       between this analysis and RPS. As Pam went  
4       through earlier, the focus is on retail sales.  
5       This analysis of the composite effect of  
6       renewables and efficiency does not take into  
7       account the retail sales angle. So there's no  
8       diminution of the amount of renewables as energy  
9       efficiency increases.

10              We simply assumed that they would be  
11       additive. And from the perspective of this study  
12       that was done in order to maximize the backout of  
13       conventional resources, and therefore maximize the  
14       GHG reduction.

15              Of course, in a formulae approach like  
16       the current RPS, this would not be the predicted  
17       consequence. There'd be some different pattern.

18              We didn't actually, at the time,  
19       calculate what the sort of RPS equivalence of our  
20       scenarios would actually be. We simply reported  
21       it on gross total sales. Here's total renewables.  
22       Subsequently we have examined what our sort of RPS  
23       equivalent would be, and in the case 1b we had  
24       about 17 percent on a net retail sales basis.  
25       Case 4a, which is the renewables increment over



1 and above the same energy efficiency assumption of  
2 case 1b gets us to 32.6 percent, just short of 33  
3 percent.

4 And then case 5a, which is the  
5 introduction of further energy efficiency brings  
6 us to about 34 percent on an RPS equivalent basis.

7 So, sort of by happenstance the level of  
8 renewables that we assumed gets us into the right  
9 zone of a 33 percent formulation.

10 One of the things that I want to remind  
11 you of is that as we did our analysis of one of  
12 our principal objectives in the scenario study was  
13 trying to understand what resources would be  
14 displaced, both in terms of new construction  
15 avoided or existing resources let run less hard.

16 So, this stack bar chart is a very  
17 compact way of trying to show the energy  
18 consequences in 2020 of all 13 scenarios, starting  
19 at the left with case 1 and ending up at case 5e  
20 to the far right.

21 Various colors of the legend are trying  
22 to be consistent across the different scenarios.  
23 I think we got that part right. Some of them are  
24 so small you're not going to be able to read. But  
25 generally the flashier colors, which I think in

1 your copies, unfortunately, are all shades of  
2 gray, are the preferred resources, either  
3 renewables, energy efficiency or rooftop solar.

4 And sort of right in the very center the  
5 green cross-hatched part is natural gas. And  
6 clearly, as expected, as one adds renewables in  
7 California or elsewhere, you're going to have a  
8 reduction in generation from conventional  
9 resources. In California, those are almost all  
10 gas-fired. There's very little oil and a couple  
11 petroleum coke facilities.

12 So if we were to focus in particular on  
13 the second bar from the left, case 1b, just sort  
14 of focus on that. And the amount of natural gas  
15 there, that slash part, then move about two-thirds  
16 of the way across with the case 4a, which is the  
17 renewables case.

18 So all of the preferred resources have  
19 increased in their particular elements. And the  
20 natural gas has gone down, but not quite as much  
21 as the renewables have gone up. Well, why is  
22 that? Look at the very top element between those  
23 two bars. Case 1b has quite a bit of market  
24 purchase imports, short-run economy purchase,  
25 economy energy kinds of resource. That's much

1 smaller in the case 4a.

2 So, part of what has happened is that  
3 that portion of imports has been displaced by  
4 instate California renewables.

5 And there are similar, many more details  
6 and actual scenario documentation, itself, that  
7 just this bar chart for those people who are  
8 interested in examining in more detail this whole  
9 issue of instate development affecting imports.

10 So, let me now turn to the questions  
11 having to do with cost, 4a and 4b in particular.  
12 When we were doing the cost analysis and the  
13 scenario project we were attempting to cover all  
14 the capital costs of new resources added in any of  
15 the scenarios.

16 And so for example, in case one, which  
17 was the reference case developed largely by Global  
18 Energy's fall 2006 reference case, there's a lot  
19 of generic resources added and very little  
20 preferred.

21 By time we're backing those out and  
22 adding preferred resources. We're costing those  
23 preferred resources and their capital costs,  
24 attributes, and we're able to see the capital cost  
25 difference between the preferred resource

1 scenarios and, you know, the more business-as-  
2 usual ones dominated by conventional resources.

3 We're also, of course, using a  
4 production cost model, getting all the production  
5 costs differentials as best the production cost  
6 model can. Capital costs differentials, I should  
7 say also we're attempting to examine the  
8 transmission consequences, but as acknowledged in  
9 the 2007 IEPR cycle, we were really mostly able to  
10 get the transmission differences between the so-  
11 called bubbles in production cost model, and only  
12 incidentally able to capture the more localized  
13 transmission additions within a bubble.

14 So, our transmission additions are  
15 undoubtedly on the low side, and therefore  
16 transmission costs on the low side.

17 There's a lot of uncertainties about  
18 costs. And the cost of generation that we were  
19 using for most technologies came from the staff's  
20 spring 2006 draft cost generation report. Laid  
21 out in considerable detail what they assumed.  
22 But, as one tracking this industry really knows,  
23 in that period of time, 15 months, cost numbers  
24 were already up significantly, maybe 10, 15, 20  
25 percent. Tremendous competition in particular for

1       some kinds of renewable technologies like wind  
2       turbines right now. And so it's very difficult to  
3       know where, through time, these technology costs  
4       are going to stabilize.

5               There's a lot of uncertainty in  
6       particular about production costs that is  
7       affecting any kind of overall cost assessment.

8               There's also an issue of as we're adding  
9       resources over the time horizon of analysis, which  
10      was only out to 2020, you're, of course, adding a  
11      resource maybe in 2018, 2019, or even the last  
12      year 2020. And it's going to last a long time.  
13      Levelization helps to give some treatment to that,  
14      but it's only imperfect way of dealing with long-  
15      lived resources that go beyond the time horizon of  
16      the detailed study.

17              So, with all those caveats, this is the  
18      result that we obtained. And I'm going to again  
19      focus on the case 1b, sort of the conventional  
20      policy continuation as of that point in case 4a.

21              So the case 1b, what we're showing is  
22      separate bars for California, rest of WECC and all  
23      of WECC in each of the cases. And basically, if  
24      you focus on the red, sub-bar in the case 1b  
25      group, it's about \$44 a megawatt hour is the

1       levelized system cost in 2006 dollars.

2               In the case 4a we're up to about \$48.

3       So this shows about a 10 percent increase in  
4       levelized costs as a result of the high renewable  
5       scenario.

6               As I indicated in my overview we did do  
7       some sensitivity studies. Some of them were only  
8       done for the year 2020, and so I can't convert  
9       them into the levelized format of the previous  
10      slide, or even chart. But this particular chart  
11      is intended to show the high-load hydro, the high-  
12      load natural gas price, and then a very extreme  
13      natural gas price that we did just in the year  
14      2020.

15              And in the sort of middle group of  
16      columns here you can see quite a bit of variation  
17      in system cost. And as one moves from various  
18      clusters of rows at the case 1b group down to the  
19      case 4a group, you can see that the range  
20      encompassed by those cells differs significantly.  
21      So that's the thing to focus on here in this  
22      slide, is how would a high renewables case lead to  
23      changes in cost sensitivity through time.

24              So, that concludes what I have to say as  
25      an introduction to the staff scenario project.

1 MS. DOUGHMAN: Okay, thank you, Dr.  
2 Jaske. So now what I'd like to do is shift to the  
3 panel. And I'd like to have each panelist provide  
4 a brief discussion of your thoughts on questions 1  
5 through 4. You don't need to discuss all the  
6 questions, but you can highlight the ones that are  
7 of particular relevance and interest to you.

8 And then I'd like to have the panelists  
9 ask each other any questions that you may have.  
10 And then we'll open it up for public comment. And  
11 then we'll break for lunch.

12 Okay, Dr. Hamrin.

13 DR. HAMRIN: Okay, I'll try to go  
14 rapidly through this. On question 1, estimating  
15 the 33 percent retail sales, we basically looked  
16 at the current load of the three investor-owned  
17 utilities, and then escalated that at 2 percent  
18 growth rate per year.

19 We thought this got us pretty close to a  
20 reasonable estimate for the purposes that we were  
21 doing.

22 I think, going forward, it might be  
23 useful to do a sensitivity analysis looking at the  
24 potential of adding plug-in hybrid vehicles,  
25 especially under greenhouse gas constrained

1 scenario; and what that would do to the demand  
2 forecast. And what that incremental change might  
3 be.

4 With regard to the comparisons of the  
5 resource mix, our report had 50 percent wind. And  
6 this, remember, is going from a 20 percent to a 33  
7 percent -- oh, I'm sorry -- going from a 20  
8 percent to a 33 percent.

9 We had 50 percent wind, 20 percent  
10 geothermal, 10 to 15 percent biomass and 10  
11 percent solar, concentrated solar.

12 We probably underestimated the  
13 concentrating solar and the popularity of that  
14 technology right now with the investor-owned  
15 utilities. We did not include photovoltaics in  
16 the mix. Not because we didn't think that they  
17 were important, but we didn't include them because  
18 there was a lot of policy uncertainties at the  
19 time we did the study in 2005 that would affect  
20 their availability in the marketplace. So we felt  
21 that that was just a bonus of resources that could  
22 be, and most likely would be, added in, but we did  
23 not have them as part of our resource mix.

24 We basically looked at what were the  
25 most cost effective resources, and what was the



1       availability and just a lot of eyeballing onto  
2       that.

3               And, again, for PV particularly, I think  
4       if companies come up with a good business model  
5       for aggregating noncommercial residential PV, that  
6       that could make a huge difference. Especially the  
7       model would need to provide data inputs that meet  
8       WREGIS standards so that we would have some  
9       verification of output. But I think that that is  
10      definitely a possibility, and is an important area  
11      to look at.

12             So, I think that's -- many of our  
13      recommendations have to do with transmission  
14      planning. And, of course, there's a workshop on  
15      that on Wednesday. But we did look at the  
16      transmission system upgrades that were being  
17      proposed, and the availability of the resources,  
18      given those transmission constraints or  
19      expansions. So we did take transmission planning  
20      into consideration.

21             Fortunately, some of the things you'll  
22      see in the report if you look at it again, a lot  
23      of time was spent on transmission. fortunately a  
24      lot of those things have actually come to pass.  
25      There's been good momentum moving forward, but

1       unfortunately not transmission lines yet.

2               I think if you implemented, I guess it's  
3       currently called LTTP planning, that incorporates  
4       RPS as well as a loading order and other policy  
5       aspects that you would come out with a pretty good  
6       resource plan and mix of resources.

7               If you're going to include out-of-state  
8       renewables, given the movement toward again  
9       climate change, greenhouse gas reduction policies  
10      in other western states, you want to make sure  
11      that whatever the rules are in the states in which  
12      those resources are located, that you're getting  
13      the carbon benefits along with the renewables.

14              So if a great part of the purpose is to  
15      go to higher levels of renewables in order to have  
16      carbon reduction you want to be sure that  
17      policywise those aren't being double-counted or  
18      haven't been given to some other entity.

19              Question 3b, current procurement  
20      process, will it produce 33 percent by 2020?  
21      Probably no way. I left a word out in the middle  
22      of that.

23              (Laughter.)

24              DR. HAMRIN: I think we need to do a lot  
25      of reconsideration of how the RPS is handled. We

1       need to streamline it. It needs to be simpler.

2               There was some comment in the early  
3       comments Pam made. She was talking about the  
4       1970s and 80s, primarily 1980s when we had a large  
5       influx of renewables and cogeneration under PURPA.  
6       That was essentially a feed-in tariff. And Europe  
7       has had great success with feed-in tariff, as  
8       well.

9               Obviously the difference is you know  
10       what price you're going to pay. You don't know  
11       what quantity you're going to get. With an RPS  
12       you know what quantity you're supposed to get, but  
13       you don't know what price it's going to cost.  
14       There's certainly possibilities that combine the  
15       two. From the point of view of investors in the  
16       marketplace, they like to know what price they're  
17       going to get.

18              We have a system right now for the RPS  
19       that is so complicated, so time consuming and so  
20       expensive for most project developers that it is  
21       very very difficult and slow to move forward.  
22       It's difficult for the utilities, it's difficult  
23       for the PUC, it's difficult for project  
24       developers. There has to be an easier way of  
25       doing this. And I suggest that you might look

1       into some kind of combination of a feed-in tariff  
2       and an RPS target.

3               In that original SO4 we got over 10,000  
4       megawatts of new renewables and cogeneration in  
5       ten years, which was not bad at the time. The  
6       companies were just getting started. The  
7       technologies were just getting started. And, of  
8       course, we had 20,000 megawatts signed up for  
9       contracts that didn't materialize.

10              One of the things that we did was set up  
11       a method for handling the transmission queue that  
12       required certain milestones to be completed by  
13       certain time periods. So starting with financing  
14       and permitting and moving on through to the date  
15       of which the start of construction of the project,  
16       and the date by which the project came online.

17              That's difficult right now because --  
18       well, it's possible for the things over which  
19       generator developers have control. We have a  
20       number of issues right now over which the  
21       generators developers don't have control, and that  
22       are holding up a lot of the queue.

23              But I think that, again, a combination  
24       of things that uses some type of milestones for  
25       moving everybody forward with some significant

1 penalties, financial or otherwise, for not meeting  
2 those milestones would be useful.

3 It's just we have to reduce the risk and  
4 uncertainty to everyone, but developers  
5 particularly. And the current system is just too  
6 expensive and too bureaucratic, I think, to get us  
7 to the 33 percent. So we need to streamline that.

8 I think that'll take care of my  
9 comments.

10 MS. DOUGHMAN: Dora.

11 DR. NAKAFUJI: Well, it's certainly a  
12 fact that moving towards a 33 percent 2020 target  
13 or any other future targets, there's definitely a  
14 lot of uncertainties based on what's presented and  
15 studies that have been done.

16 But I think what has to happen is that  
17 it must include a portfolio-based approach.  
18 Because whether it's wind, solar or any other  
19 renewables, it's certainly not going to be the  
20 only source of generation. I think, given our  
21 current market and infrastructure, we need to  
22 consider what the existing framework is. Work  
23 within that framework to expand and develop.

24 So this portfolio approach is really  
25 kind of the focus when the intermittency analysis

1 project was initiated. We wanted to look at  
2 current transmission planning operations --  
3 current transmission planning processes, as well  
4 as operational constraints. That also considered  
5 regulatory environments.

6 So, looking out for 33 percent we really  
7 tried to introduce this consistent framework, not  
8 only using cost as a driver, but looking at the  
9 transmission reliability.

10 So, incorporating those two metrics, or  
11 other metrics, but at the time we considered both  
12 the cost and the current infrastructure as kind of  
13 the framework or the envelope in which we could  
14 possibly move forward.

15 Some studies have started from a clean  
16 slate and just put a bunch of renewables  
17 everywhere. But that certainly is an approach and  
18 gives a ceiling on some certain perspectives. But  
19 the consistent framework needs to somehow be  
20 developed considering the constraints of the  
21 markets, the regulatory environment and also the  
22 technologies.

23 I think some of these studies do need to  
24 be updated periodically to take into account  
25 technology changes and leaps in technology,

1       whether it be storage type of technology or other  
2       advanced generation that could be taken advantage  
3       of, you know, in the next five to ten years  
4       timeframe.

5               So, certainly, to a 2020 we can only do  
6       our best in our estimates today. The cost factors  
7       are based best on. As soon as they're out -- I've  
8       heard forecasts, as soon as they're out they're  
9       wrong. So we need to take that into consideration  
10      in making these decisions.

11             As far as impacts on the contractual  
12      delays and cancellations and how does California  
13      compare with other states, well, we're dismally  
14      behind. Considering all our very aggressive state  
15      environmental and RPS. We took the lead in the  
16      RPS; it was a very -- 33 percent target as a goal.

17             But the risks, as mentioned by Pam in  
18      her presentation, due to transmission and siting,  
19      those things are really hindering development, as  
20      well as any sort of developer incentives to come  
21      to the state. It's just too much of an uphill  
22      battle. Other states are even giving them  
23      statewide incentives to come and develop projects  
24      their states. So we do have a lot of competition  
25      out there from other states.

1           The other area, which is this retail  
2     price impacts. Again, this kind of goes back to  
3     the regulatory environment of our existing  
4     infrastructure, and not wanting to introduce  
5     unintended consequences into our operations when  
6     we switch.

7           We're kind of at a transitional stages  
8     and transformation from our current way of  
9     operating to adopting a lot of intermittent  
10    renewables. And the question was asked should we  
11    just incrementally do it or jump to it. And I  
12    think it must be done in some sort of a phased  
13    approach. Just for economic reasons, as well as  
14    looking at options of development it's taken, you  
15    know.

16           Optimistically it may be five years for  
17    some of these transmission lines to go into place.  
18    And then to gain the operational confidence we  
19    need to look at not only storage technology, but I  
20    mean that's to be developed, but also operator  
21    enhancements and tools for forecasting.

22           Because we still have to account, for  
23    the example of wind, is when it doesn't blow. So  
24    you need to consider all the available portfolio  
25    resources to really take these things into



1 account.

2 As far as economic procurements from out  
3 of state, some of our transmission issues are  
4 local. They're not going to be resolved by having  
5 electricity imported from out of state. And if  
6 we're going to import a lot coming out from other  
7 states, we need to be cognizant of the fact that  
8 if it's not firmed coming into our borders, we're  
9 going to have to deal with it instate.

10 So, those are some considerations on the  
11 operational side to make it more reliable and  
12 sustainable development if we're going to attain  
13 33 percent or any other future targets.

14 MS. DOUGHMAN: Go ahead, Dave.

15 MR. HAWKINS: Okay, I love it when you  
16 start talking about operational issues. I'm not  
17 bored then.

18 Let me start off by first saying that we  
19 really think we have to have a holistic view of  
20 this thing. And a holistic view is really a  
21 regional view, not just a state view. Because if  
22 you look at all of the western region we have  
23 tremendous resources that are being planned all  
24 the way from Wyoming through the Northwest area.  
25 And a lot of work going on with NREL in the whole

1 southwestern area and looking at the development  
2 of that.

3 And certainly if you're Richardson in  
4 New Mexico, they are really looking to export some  
5 of that wind generation out of New Mexico to  
6 California. So we are a natural market for where  
7 the renewable resources are going to go.

8 And so if you look at, thinking about,  
9 first of all, imports are going to be a critical  
10 piece of this, not every piece of renewable has to  
11 be developed within California, itself. So I  
12 think we need to be able to use that, socialize  
13 that, bring in those lower cost resources from  
14 where we get them.

15 Second thing we have is that if you look  
16 at the climate change models, climate change says  
17 we're going to get a lot less snow pack in  
18 California. And a lot of that is going north.  
19 The impact of what will be, is when you're up in  
20 the Pacific Northwest and up into Canada, snow  
21 does not go through turbines very well. You  
22 really have to have snow melt.

23 And the snow melt, like this year, is  
24 going to come down at very rapid rate, and the  
25 reservoirs are going to be very full.

1                   And so if you look at January, February  
2           up in those areas, they are going to have  
3           interesting problems trying to get as much  
4           generation as they need. And if you look at the  
5           fact that we could develop solar technology in the  
6           southwestern area, particularly southern  
7           California, we could tremendously export energy up  
8           to the area. And then, of course, take advantage  
9           of their additional hydro coming back in the  
10          summertime.

11                   So I guess the first message is we  
12          really need to think regionally, as well as within  
13          California, as to what we're going to accomplish.  
14          And, of course, need the associated kind of green  
15          highway to move that in.

16                   Second thing, going first of all, the  
17          first question, which is how do you count the 33  
18          percent renewables. How do you do the math. And  
19          an important issue, it seems to me, is the fact  
20          that you really want to think about the  
21          photovoltaic impact.

22                   And we've already talked about the  
23          Million Solar Rooftop Initiative. We're  
24          estimating that you're going to see anywhere from  
25          3000 to 5000 megawatts of solar generation, which

1 I think really counts, at customer locations. And  
2 it's behind the meter.

3 So you say, okay, how do I count that in  
4 the equations. How do I go look at it. So,  
5 again, if you think holistically where we're  
6 going, we're also talking about smart grid and  
7 automated meter reading systems and so forth.

8 And if you think about how does AT&T  
9 know that when I'm in Portland or I'm in Atlanta,  
10 they still know how to bill me for, you know, all  
11 the usage I do on my cellphone. And so you think,  
12 well, gee, we probably could figure it out as to  
13 how to figure out how many megawatts are being  
14 used or generated by photovoltaics, as well as the  
15 amount of energy that we're delivering.

16 So my suggestion is, as we think about  
17 the 33 percent renewable goal, is that probably 5  
18 percent to 8 percent of that may be behind the  
19 meter at the local retail locations, or the big  
20 box stores, or any of the other commercial  
21 buildings, which represents a tremendous  
22 opportunity.

23 Second issue that we have is we're also  
24 looking at trying to expand demand response  
25 programs. And the advantage, of course, of demand

1 response is going to decrease the denominator in  
2 this case. So if you're looking at the amount of  
3 megawatt hours that have to be served, we certain  
4 could still take some of the megawatt hours off  
5 the table, which would also increase the amount of  
6 energy supplied by renewables.

7 So the grid, itself, may supply  
8 somewhere between 25 to 28 percent of the  
9 renewable energy. The rest of it should come  
10 locally. And I think if we think about the whole  
11 energy policy for the state, you really have to  
12 put all those pieces together. I think they're  
13 really critical.

14 Second part of the question is looking  
15 at the resource mix. And, of course, what we have  
16 coming out is part of the 20 percent renewables  
17 goal is dominated by wind generation. So you hear  
18 lots of impact studies done that says, oh, my  
19 gosh, what are we going to do with wind. How are  
20 we going to handle all the wind and the  
21 variability of wind. And that's because wind is  
22 the dominant one that's coming off first as the  
23 most cost effective and so forth.

24 We're absolutely, if we're going to go  
25 to 33 percent, we've absolutely got to have solar,

1 got to have biomass, you have to have geothermal.  
2 It's the combined mix of all these resources which  
3 is really critical.

4 In order to do the operating studies you  
5 have to decide, well, how much do you have and  
6 which one of which. And it also makes a huge  
7 difference of where. Wind generation in one area  
8 may have a fairly low capacity factor. Wind  
9 generation in other areas may be much more steady.

10 We actually have seen wind generation in  
11 one area for a couple months of this year that had  
12 a 60 percent capacity factor. Substantially  
13 beyond the normal what we do a one-year average,  
14 which is in the low 30s or even lower than that.

15 And, of course, you look at areas like  
16 the Altamont Pass, which has the wind turbines,  
17 the old wind turbines, shut down for a substantial  
18 period of the year. And they have capacity  
19 factors less than 20 percent because they have to  
20 shut down the old units.

21 So we have repowering issues to do. So,  
22 it's location. It's like real estate, location,  
23 location, location. You got to find the right  
24 locations.

25 So there's a lot to do. In order for us

1       to do the operating impact studies we have to have  
2       some pretty good scenarios of what type of  
3       generation is going to be built, and what the  
4       characteristics are of those particular areas.

5               So in terms of research, analysis, and  
6       so forth, we still have a lot of work to do to get  
7       some of those profiles, models that we could  
8       actually then include as part of our overall  
9       studies.

10              The issues of contracts. We are not in  
11       a position to monitor contracts, so as the  
12       California ISO, that's not an issue for us. We  
13       assume that everyone is doing a great job of doing  
14       those.

15              Would like to make a comment, though, on  
16       feed-in tariffs, because what I've seen of the  
17       things that are showing up is the impediment, at  
18       this point, is not getting the contract done, but  
19       getting the permit to build something. And where,  
20       getting the location to build it.

21              So we have large solar projects that are  
22       all queued up now at BLM, and nothing being  
23       approved. We have other projects that, you know,  
24       looking for permits. Nothing approved.

25              It took us a long time to get our

1 transmission plans approved. We are building out  
2 Tehachapi for the transmission, but we still don't  
3 have the Sunrise Power Link or any alternative to  
4 be able to pick up a watt of that renewables in  
5 southern California.

6 So we have a problem in that the  
7 transmission and getting the permits are the big  
8 deal. And the feed-in tariff I don't think solves  
9 any of those problems.

10 If you look at Texas, Texas is moving  
11 ahead very aggressively. What they've done is  
12 they're very friendly, they're very supportive of  
13 getting all the stuff installed. It's not a big  
14 deal. They just finished their CREZ project, and  
15 this last week they announced that they're going  
16 for scenario two on their CREZ project, which then  
17 says they're going to build out their transmission  
18 to handle 18,500 megawatts of wind generation.

19 And everybody, you know, you're looking  
20 at where it's happening to all the units; where  
21 are they being delivered. Well, go to Texas. And  
22 it's because Texas says, y'all come on down now,  
23 we've got it onboard.

24 And so they've got a friendly process; a  
25 process that is not onerous in terms of their



1       permitting and everything else, so that's where  
2       it's going. And the feed-in tariff doesn't solve  
3       that. I still think that that's not an issue.

4               So, anyway, in terms of pricing, you  
5       know, we're not in a position where we actually do  
6       the cost pricings types things. I think that  
7       really goes back to the Energy Commission and CPUC  
8       to look at those issues. But we will provide our  
9       inputs and so forth, as we go forward.

10              Thank you.

11              MS. DOUGHMAN: Snuller.

12              MR. PRICE: Thanks. I'm going to walk  
13       through each of these four questions and just  
14       provide a brief summary of what's in the GHG  
15       modeling and analysis that we did.

16              Before I do that I just want to  
17       acknowledge how much of the prior work that a lot  
18       of the folks on the panel have done that we drew  
19       from, the intermittency analysis project, the CRS  
20       study, the scenarios project.

21              I think, in particular, Mike Jaske was  
22       way too modest on characterizing the scenarios  
23       project just a few moments ago. It definitely  
24       helped us, I think, steer away from some of the  
25       potential issues in this type of thing.

1                   In particular we took lesson and tried  
2                   to create a tool that could do lots of scenarios.  
3                   And gave that tool to different stakeholders and  
4                   parties in the CPUC process so that everybody  
5                   could run their own view of the world. And I  
6                   think that's been helpful.

7                   What we saw earlier today was sort of  
8                   one reference case. And so when we go to  
9                   questions like resource mix or what-have-you,  
10                  recognize that's just one reference case, and that  
11                  actually you can do a lot of different things  
12                  within that.

13                  I think that sort of going forward the  
14                  one area that we're headed to and that there  
15                  hasn't been a lot of work done on is really  
16                  feasibility. Okay, so feasibility of 33 percent.  
17                  And I'm not talking just about the engineering,  
18                  although that's a critical part of it; I'm not  
19                  talking just about the economics and whether we're  
20                  willing to spend the money, although that's also a  
21                  big part of it. But also process.

22                  You know, our processes for siting new  
23                  facilities; where are they going to go; how are we  
24                  going to get that all hooked up. And looking at  
25                  the timelines. 2020 is actually not that far

1 away. Our shop has been involved with the ISO on  
2 siting of the Sunrise Transmission Line. I think  
3 that project has been about seven years or  
4 something like that.

5 So, if we continue to take seven years  
6 to do each transmission line, what-have-you, 2020  
7 starts to really catch up with us quickly.

8 So with that let me try to just quickly  
9 go through some of these questions. The  
10 estimating 33 percent of retail sales. I think  
11 the key thing that we're getting down to there is  
12 the forecasting, and trying to get out our crystal  
13 ball and forecast what retail sales will be in  
14 2020.

15 Clearly in our analysis the big drivers  
16 are energy efficiency, and what do you assume on  
17 that. Photovoltaics, to some degree; combined  
18 heat and power and behind-the-meter generation is  
19 also a really big chunk and driver of that  
20 uncertainty.

21 And then I think our panelists have  
22 mentioned a couple of times electrification; both  
23 the transportation sector, gasoline-to-electric,  
24 but also industry as fossil fuels prices increase.

25 In terms of comparison of resource mix

1 scenarios, the analysis that we did was primarily  
2 focused instate. I think we had some Mexican wind  
3 in our sort of 33 percent scenario, but mostly  
4 instate resources. And that was by design. I  
5 think the resource mix you get looks really  
6 different if you go to broader regional look.  
7 We tried to put the tools available to do that,  
8 but our reference case scenarios didn't.

9 I think the other thing that you get to  
10 when you look at these analyses is that we're  
11 doing sort of least-cost, what resources generally  
12 are lower cost and putting those in first. But we  
13 have to recognize that we have a whole renewable  
14 procurement process. So our utilities are issuing  
15 calls, and they're getting back bids and projects  
16 that they don't actually necessarily control.

17 So, while if you're using the GHG  
18 calculator or another tool, it's kind of fund to  
19 say, okay, we're going to do Tehachapi, Imperial  
20 Valley and what-have-you, that may not be what we  
21 get. So there's this whole procurement process  
22 that we, you know, -- and that's a good thing, I  
23 think, more competition, but something to keep in  
24 mind when you're playing or looking at one of  
25 these resource mixes.

1                   Impacts of contract delays or  
2           cancellations. I think on that one do I think  
3           that the current procurement process will produce  
4           33 percent renewables by 2020. I think we could  
5           probably get contracts for 33 percent renewables.

6                   I am less optimistic without changing  
7           the way we do siting, planning and actual  
8           construction, that we'll get the megawatt hours or  
9           gigawatt hours, as the case may be.

10                  And in terms of, you know, whether  
11           California's losing ground, I think, you know,  
12           Texas is the example where we did a recent chart  
13           and, you know, their addition of new wind  
14           generation is just far outstripping ours.

15                  In terms of potential wholesale and  
16           retail price impacts, and I think one of the  
17           things that we really tried to do with our GHG  
18           modeling was to estimate, by LSE, both public and  
19           investor-owned utilities what's going to happen to  
20           consumers through retail prices.

21                  So it was a little bit sobering when we  
22           saw some of the results. We think that retail  
23           prices are going up sort of regardless of what we  
24           can -- all scenarios prices seem to be going up.

25                  And in our 33 percent reference case

1       they're going up more.  Although if we can get  
2       enough energy efficiency then ultimately consumer  
3       bills may not increase.

4               So the question is can we get enough  
5       energy efficiency to fund our renewable  
6       investments.  I think we saw a percentage,  
7       something like 5 percent or something like that in  
8       terms of retail price increase through a 33  
9       percent relative to a just sort of an existing  
10      policy 20 percent case.

11              So with that, I think I'll pass it  
12      along.

13              MS. DOUGHMAN:  Go ahead, Jaclyn.

14              MS. MARKS:  First I'd like to thank the  
15      CEC for the opportunity to speak on this panel  
16      today.  And unlike the other panelists here the  
17      PUC has not yet conducted a study on 33 percent  
18      renewables.  But we will be conducting a staff  
19      analysis as part of our long-term procurement  
20      proceeding in our 2010 long-term procurement  
21      plans.

22              The CPUC Staff analysis will be a key  
23      input that will direct the IOUs, investor-owned  
24      utilities, on what the PUC views as a realistic  
25      RPS scenario in 2010.  And that will be, in a

1 sense, a reality check on whatever the utilities  
2 come back to us as their preferred resource plans.

3 So just, I'll briefly describe what we  
4 intend to do for this 33 percent staff analysis.  
5 And we really see two parts. I think a lot of the  
6 panelists and Pam and Suzanne have already touched  
7 on a lot of the elements here, which really shows  
8 how critical they are.

9 And the first part of the staff analysis  
10 will be to do a cost and resource buildout  
11 scenario. And we intend to do this by early  
12 February of 2009.

13 And this resource buildout would use  
14 data coming from the Renewable Energy Transmission  
15 Initiative which will, at a project level,  
16 describe what the renewable potential is across  
17 the state.

18 It will also have updated load resource  
19 tables which will come out of the work Snu and E3  
20 is doing in conjunction with the long-term  
21 procurement plan proceeding. There's a  
22 assumptions and metrics working group that is  
23 going to be updating these numbers for the  
24 investor-owned utilities.

25 And then a third key input which we

1       actually don't have yet is the integration cost  
2       data, and, you know, ramp and regulation numbers.  
3       And I know we're going to get into this more in  
4       the afternoon, but this is really a critical piece  
5       to calculating what the resource buildout will  
6       look like.

7               And I think David said, well, we need to  
8       know what the generation will be; and I agree.  
9       But we also need to know what the integration  
10      numbers will look like. So need to work in  
11      conjunction to have that data ready.

12             And this first part will come out with,  
13      you know, a resource buildout and some cost  
14      estimates. But as the other panelists have  
15      emphasized, costs now are extremely uncertain.  
16      There's a lot of policy uncertainties in the  
17      future and, you know, your model can come up with  
18      a number, but we're not sure right now how much we  
19      can depend on those numbers.

20             So our focus for part two will really be  
21      on implementation scenarios. And the other  
22      panelists have also touched on this. The problem  
23      with bringing more renewables online isn't  
24      necessarily the procurement process. The PUC has  
25      signed or has approved over 5900 megawatts of



1 contracts. Of those, about 4500 are for new  
2 projects. And since the program's inception only  
3 about 400 projects have come online.

4 So the problem clearly is not signing  
5 contracts. The procurement process is working.  
6 This goes to question three. And we had  
7 independent evaluators -- we had three independent  
8 evaluators for each utility which oversee the RPS  
9 procurement process. And we had them put together  
10 a memo for the energy division of the PUC on how  
11 the procurement process for renewables compares to  
12 fossil within the state. And also to renewables  
13 within other states.

14 And their main message was the  
15 procurement process in California is working.  
16 It's very streamlined; it's no more complicated  
17 than other procurement processes for renewables in  
18 other states. And it's, in their view, even more  
19 streamlined and predictable than the procurement  
20 process for fossil in the state, because every  
21 year you have the same expected procurement  
22 process.

23 So, it's not the procurement process in  
24 the PUC's view. It is the permitting, it's the  
25 transmission, it's the site control, it's all of

1       these other agencies that play a role in bringing  
2       renewables online.

3               So that's why part two of the staff  
4       analysis is going to focus on what does it  
5       physically take to reach 33 percent. And who are  
6       the key players and agencies that have a role in  
7       making that a reality. And what can the state do  
8       to actually overcome these barriers.

9               So that's really what the focus of the  
10      staff analysis will be by February of next year.  
11      But we also envision a phase two which looks at  
12      policy uncertainties beyond 2020.

13              And all the other panelists have already  
14      mentioned, there's all these uncertainties around  
15      emerging technologies, electrification, smart  
16      grid, the impact of rooftop solar photovoltaics.  
17      Those are all key inputs into this analysis today,  
18      but are very uncertain.

19              So, that is not something we will be  
20      doing in phase one, but we are considering for  
21      phase two, or perhaps coordinating with the IEPR  
22      process to do that type of analysis.

23              And so I believe I've covered most of  
24      the questions I was going to cover. But just to  
25      see if I missed any, lb says any suggestions on

1       how to estimate 33 percent for statewide retail  
2       sales.

3               Well, I can't help statewide, but at  
4       least on an IOU basis the long-term procurement  
5       process will be coming up with estimates for 2020.

6               And, let's see, 2c, what assumptions  
7       should be made in coming up with a reasonably  
8       likely resource mixes for 2020. I think a key  
9       input there is the ready data, the data from the  
10      Renewable Energy Transmission Initiative. And  
11      also the staff analysis that the energy division  
12      will be coming up with.

13              And three, I went over this already, but  
14      it's not the procurement process, it's the  
15      implementation process. And that's why the PUC is  
16      really going to focus down on that issue.

17              And d, what could be done to increase  
18      the rate of new renewables is really all of the  
19      state agencies working together, the state, the  
20      local, the county, whoever it is, work together,  
21      collaborate and overcome those various barriers to  
22      bringing projects online. And that's something  
23      that the PUC intends to do, and has already  
24      started with ready and with working with the BLM  
25      on permitting issues, and the CEC.

1 MS. DOUGHMAN: Go ahead, Jan.

2 DR. HAMRIN: I'd like to just respond a  
3 bit on the feed-in issue, and why I think it would  
4 be a benefit.

5 The reason is that when you do the RPS  
6 procurement as we're doing it, you've said, okay,  
7 we're going to take these projects, we're not  
8 going to take these projects.

9 And one thing we've learned is that  
10 we're almost always wrong about all kinds of  
11 projections. And I've certainly heard from some  
12 people, whether it's true or not, well, I had a  
13 project, I have a transmission, I have permits, I  
14 could have built it. But I got turned down in the  
15 procurement process.

16 If you had at least some portion of  
17 projects that could come through a feed-in tariff  
18 you could be surprised. There could be projects  
19 that do have transmission, or that could get  
20 permitted that you hadn't thought about.

21 And, again, harkening back, as I think  
22 I'm allowed to do, to the old days in the 80s, we  
23 never would have projected the mix of resources or  
24 the kinds of technologies that we ended up  
25 getting. We didn't know what we were going to

1       get, but we thought we did. And we're almost  
2       always wrong. We'd have something come in, go,  
3       oh, gee, we never thought about that. That's  
4       interesting.

5               Getting generation from rice hulls.  
6       That's something we hadn't thought about. Or all  
7       kinds of different technologies came forward. And  
8       I think innovation is one of the benefits of a  
9       feed-in tariff. So, you may not go to a total  
10      feed-in tariff, but I think allowing, you know, a  
11      million flowers to bloom and seeing if there's  
12      people who actually, because of the particular  
13      location, or the size of the project, or the kind  
14      of technology, happen to have, be able to get  
15      transmission and can get their project permitted  
16      because it's part of an agricultural development  
17      that has a lot of support locally. Or other  
18      things of that nature.

19             I'll just end it by saying that, as you  
20      know, Center for Resource Solutions does the  
21      green-e program. And that is primarily looking at  
22      renewables for the voluntary market.

23             Well, it turns out nationally one of the  
24      voluntary renewable energy market has actually  
25      resulted in as much or more renewable energy

1 brought to the market, new renewable energy  
2 projects, than the RPS projects have.

3 That doesn't mean the potential for RPS  
4 isn't much bigger. It certainly is. But, the  
5 voluntary market has actually delivered. Partly  
6 because, I think, they haven't had to go through  
7 quite as many hoops and barriers.

8 Twenty percent of the national voluntary  
9 market is being sourced from California. Now,  
10 I've had people tell me, well, that's not possible  
11 because we're signing contracts for all the  
12 renewables that are there and they haven't come  
13 onboard.

14 Well, there are people out there who are  
15 building projects and they're selling to other  
16 buyers, including the voluntary market for  
17 renewables. And they're located in California.  
18 And they have at least as many megawatts, I  
19 believe a few more, that they brought online for  
20 that purpose than has come online for the RPS.

21 So, I think having an opportunity for  
22 people who think they can do it another way, to do  
23 it, is useful to have somehow in the process as  
24 you move forward.

25 MS. DOUGHMAN: Mike Jaske.

1 DR. JASKE: One of the common themes  
2 that various of us have identified is uncertainty.  
3 And it's certainly highly desirable that where  
4 there's -- those are policy uncertainties that we  
5 take them into account.

6 So, for example, in the current RPS  
7 formula, taking predicted energy efficiency into  
8 account is important because that's, you know,  
9 intrinsic in how the retail sales obligation is  
10 defined.

11 But, it seems to me we, in cataloging  
12 the various sources of uncertainty, we are sort of  
13 revealing, at least to my mind, the issue of  
14 whether we ought to separate out the sort of  
15 policy level discussion about those interactions,  
16 and therefore the amount of renewables we're  
17 trying to target, versus continuing to use that  
18 formula for every individual load-serving entity,  
19 which at their level has all the same  
20 uncertainties, and even more, like load shifting  
21 between LSEs. It's certainly important from the  
22 ESP and the host IOU perspective.

23 And those are things that tend to lead  
24 to, you know, paralysis of just what is the amount  
25 I have to go for, I, the individual LSE, who's

1 making a procurement decision.

2 It just seems like an unnecessary  
3 incorporation of uncertainties into the  
4 implementation side of things that is best focused  
5 on at the policy level; translate that into  
6 magnitudes of renewables that should be pursued,  
7 and then let that go forward.

8 MS. DOUGHMAN: Dave, did you want to  
9 answer?

10 MR. HAWKINS: Well, the one thing I  
11 forgot to mention was the, what we're really  
12 looking for, too, is building the nighttime loads  
13 to match some of the wind generation.

14 Our expectation at this point is that  
15 the transportation side is going to come to the  
16 rescue and that we will see plug-in hybrids. And  
17 we're expecting that hopefully, within five years,  
18 we'll see 500 megawatts of load come on at night.  
19 And certainly by 2020 hopefully that'll be up to  
20 1000 megawatts of nighttime load.

21 The big issue is going to be to make  
22 sure that we set standards in place so that there  
23 is either a tariff or something that encourages  
24 them to not all just get home at 6:00 and plug in.  
25 But that we actually have a schedule-able load



1       that would come on in the middle of the night.  
2       And particularly if we could send out a signal  
3       from the wind generation site, or to say that  
4       excess wind generation's currently available where  
5       you would see this loads come up.

6               So, the whole idea of trying to connect  
7       customer loads with some of the variability of  
8       renewable resources, we think, is going to be a  
9       key issue.

10              Certainly if you look at smart grid type  
11       things and plug-in hybrids, you think that those  
12       things are achievable. So, back to the research  
13       and development side, I think we need to build  
14       some of these communications infrastructure to  
15       make, again, this stuff work together as a whole.

16              Thank you.

17              MS. DOUGHMAN: Any more comments from  
18       the panel?

19              Okay, blue cards.

20              (Pause.)

21              MS. DOUGHMAN: Last call for blue cards  
22       on topics 1 through 4.

23              Okay, let's break for lunch and come  
24       back at 1:00.

25              (Whereupon, at 11:53 a.m., the workshop

1                   was adjourned, to reconvene at 1:00  
2                   p.m., this same day.)

3                               --o0o--

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 AFTERNOON SESSION

2 1:04 p.m.

3 MS. DOUGHMAN: We'd like to go ahead and  
4 get started again. Just want to remind you if  
5 you'd like to make a comment, please fill out a  
6 blue card. And we have some staff who will be  
7 standing up and asking for you blue cards. Or you  
8 can hand them to Donna Parrow. And we welcome  
9 your comments.

10 Okay, so the plan for the afternoon is  
11 to go over topics 5, 6 and 7. And for topic  
12 number 5 we have presentations from a number of  
13 our panelists. And then topic 6 I'll have a brief  
14 presentation, or actually topic 6 is more of a  
15 lengthy presentation. Topic 7 is a brief  
16 presentation.

17 And then we'll have our panel discuss  
18 their perspectives on the questions for topics 5  
19 through 7. And then we'll open it up to public  
20 comments.

21 So, that's the plan for the afternoon.  
22 So, I'd like to welcome Dr. Jam Hamrin to talk  
23 about, so what's new, an update on achieving a 33  
24 percent renewable energy target.

25 DR. HAMRIN: Thank you, everyone. Try

1 to make this as painless as possible. So, we're  
2 sort of the old, appropriate again, the old guard  
3 on doing, looking at this question. We did the  
4 first one, I believe, that anyone looked at.

5 And so the report goal was how to  
6 accelerate and expand the current 20 percent RPS.  
7 And pretty much the goal we're talking about  
8 today, to achieve the Governor's 33 percent goal  
9 by 2020.

10 So, interestingly, most all of the  
11 operational and other changes we recommended in  
12 the report are still relevant. Many have already  
13 been undertaken. I have to commend the CPUC for  
14 really going down the checklist and putting in  
15 place a number of changes before we even got the  
16 report out the door. And others are in process,  
17 but still others need attention.

18 This was primarily a scoping document to  
19 look at the technical and economic feasibility of  
20 moving from 20 percent to 33 percent RPS target.  
21 And as was mentioned earlier, because this was  
22 done for the CPUC we looked at the investor-owned  
23 utilities.

24 We did not use a computer model, we used  
25 spreadsheets. So there was no mystical anything

1 buried in the bowels of a computer model, it was  
2 just plain spreadsheets. Those have been posted  
3 on the PUC website. Now, I don't know if they  
4 still were there or not, but, again, similar to  
5 Snu's comment, you could take them and change the  
6 assumptions and see what the effects would be.

7 So if they aren't still on the PUC  
8 website and you're interested in it, we can see if  
9 we can get them back on. So it's just a  
10 spreadsheet, very large spreadsheet, but  
11 spreadsheet kind of analysis.

12 The results, it was both technically and  
13 economically feasible. And would likely result in  
14 net savings to California electricity consumers  
15 over a 20-year period. Under the assumptions that  
16 we used, there'd be a small negative ratepayer  
17 impact, 2011 to 2020. And that was less than 1  
18 percent negative ratepayer impact.

19 But it was more than offset by the  
20 longer term ratepayer benefits. From 2011 to  
21 2030, the net savings, we estimated, would be in  
22 the area of 175 million. That is not a lot of  
23 money when looking at utility costs; and certainly  
24 is probably within the uncertainty band for many  
25 of the assumptions that went into this.

1                   Data uncertainties. The two most  
2                   critical variables, needless to say, were  
3                   renewable energy cost forecast. What were  
4                   renewable energy facilities going to cost us, and  
5                   natural gas forecast. And natural gas forecast  
6                   will remain, I'm sure, being the controversial  
7                   area because we were comparing 33 percent  
8                   renewables to having more natural gas. That's  
9                   what we decided was on the margin and that was the  
10                  bogey that we used.

11                  Obviously transmission costs are also  
12                  important. And those have also gone up. Though  
13                  they tend to affect all new supply, since  
14                  California transmission system, in general, needs  
15                  new lines and upgrades to lines. So many of the  
16                  things were network benefits.

17                  However, we added 50 percent to the cost  
18                  of renewables for the transmission costs that we  
19                  estimate.

20                  Integration of intermittent resources  
21                  like wind and solar were also important. But at  
22                  the levels we're discussing, those costs didn't  
23                  seem to be prohibitive and we put in \$5 per  
24                  megawatt hour as the -- for our placeholder for  
25                  the cost of integrating intermittent resources.

1           Most the other variables affect all  
2           generation technologies. We did not do line  
3           losses. There would be line losses for the fossil  
4           as well -- natural gas as well as the renewables.  
5           And we just let that go as one complication we  
6           didn't need to put in.

7           And many of the variables would affect  
8           all generation. So, it was really the key things  
9           were what would renewable energy cost, what would  
10          the natural gas forecast be.

11          So, what's new. Well, renewable energy  
12          costs have gone up by much more than we had  
13          anticipated in the study. Wind has gone up. This  
14          is just eyeballing some recent data that we've  
15          gotten, about 30 percent geothermal, about 50  
16          percent solar, concentrating solar about 25  
17          percent, not sure about biomass.

18          On average I'd say the renewable costs  
19          are about 36 percent above what we assumed in the  
20          study.

21          Capital cost of natural gas plants has  
22          gone up by 100 percent. Now, granted the capital  
23          cost of a natural gas plant is not proportionally  
24          as large a cost factor as the capital cost of a  
25          renewable plant.

1                   Still, capital costs have gone up 100  
2           percent for natural gas plants based on the latest  
3           Department of Energy information on combined  
4           cycle.

5                   Natural gas price forecast has gone up  
6           significantly. How much? That's something that  
7           could be -- is still to be debated. I would say  
8           at least in the 30 percent range.

9                   There is a report from the Department of  
10          Energy. If you haven't seen it, you might like  
11          to. This was their report to the FERC, Federal  
12          Energy Regulatory Commission. It was given June  
13          19th of this year in Washington, D.C.

14                  The bottomline is that the cost of  
15          everything has gone up and is continuing to go up.  
16          And natural gas is one of those that they don't  
17          expect to come down.

18                  The cost of renewable energy compared to  
19          the total cost of all other generation options;  
20          actually renewable energy is looking more cost  
21          competitive today in many cases than it was in  
22          2005.

23                  The cost of coal plants have gone up  
24          tremendously. The cost of everything, nuclear  
25          plants, have gone up tremendously. So that



1 compared-to-what is a really important question.

2 We'd like to see the calculations and  
3 the analysis redone with the latest data. It'll  
4 be interesting to see what we get. But we believe  
5 that you're going to get very similar results to  
6 what we got. So it's just the bar will have gone  
7 up for everything. But I think you're still going  
8 to see it in a range that is pretty close to what  
9 will happen with natural gas. And with all the  
10 uncertainties in the data that it's certainly is  
11 right on the error margin.

12 So what else is new? Well, as we  
13 discussed this morning, California is off target  
14 in meeting its 20 percent RPS. The impact is  
15 though the relative cost of renewable energy gets  
16 lower, the longer it takes, the more new supply is  
17 going to cost California consumers. That's just  
18 how it's going to be. It doesn't matter what it  
19 is actually that you're putting in the supply  
20 side, it's going to cost consumers more.

21 And we estimate that it costs 1.5  
22 percent of the value of the power purchase  
23 agreement of the contract per month of delay for  
24 any particular project. That is a big premium, a  
25 big risk premium.

1                   So, as we were talking earlier about the  
2                   possibility of using a feed-in tariff,  
3                   strategically in certain areas, maybe you could  
4                   have one where you add premiums based on how soon  
5                   you can come online. Because, in fact, it will  
6                   cost California's electricity consumers a lot of  
7                   money the longer they have to wait for these  
8                   projects to come online.

9                   You'll see this message through the rest  
10                  of my few slides. The longer you wait, the more  
11                  it's going to cost you, no matter what you're  
12                  doing.

13                 The big change in context. Well, the  
14                 obvious big change is the greenhouse gas goals for  
15                 2050 indicate the electricity sector will need to  
16                 make major changes. The passage of AB-32, which  
17                 happened since we did this report, puts the whole  
18                 context in a different place.

19                 And the changes in supply and structure  
20                 are going to be needed in the electricity sector.  
21                 Not just reductions in emissions from existing  
22                 fossil plant. You cannot get to these greenhouse  
23                 gas goals simply by pressing down on the emitting  
24                 generators. There's no way you can get there.

25                 You have to change the infrastructure,

1 change the types of resources you have in your  
2 mix. That's the only way you're going to have any  
3 chance of meeting these goals. The longer we  
4 wait, the more it'll cost consumers.

5 And just for your information, our 33  
6 percent report did not include greenhouse gas  
7 allowance cost for natural gas plants to meet  
8 greenhouse gas targets. So that was not included  
9 in any of our calculations, but certainly one  
10 would want to be included today.

11 One of the problems with greenhouse gas  
12 controls as compared to, say, acid rain or NOx, is  
13 that we don't have technical fix that's  
14 economically available today for a power plant to  
15 put on its stack. To put a bag house, to put  
16 widget to do something that's going to shut off  
17 the carbon. We don't have it.

18 So, therefore, all the emitting  
19 facilities can do is either get all the allowances  
20 they need or quit generating, or turn back their  
21 generation. As a result they are going -- normal  
22 or natural reaction, they're going to constantly  
23 be fighting any ratcheting down of greenhouse gas  
24 caps because they can't -- they have no place to  
25 go. It's not like they could go out and buy

1 something and put it in. So this is going to be  
2 an increasingly larger and larger problem.

3 So what are the AB-32 options for the  
4 electricity sector? So I want to come at this  
5 from the other side. What would you do if you  
6 didn't do the 33 percent renewables, or even more?

7 You could do more natural gas. Fuel  
8 price volatility risk is not insignificant. We've  
9 got a large proportion of the state's generating  
10 power already comes from natural gas plants. How  
11 far can we raise it without adding tremendous cost  
12 to the system because of lack of diversity.

13 Overall, natural gas prices are going up  
14 and up. Unbalanced portfolio, as was mentioned  
15 earlier. You need a balance in your portfolio,  
16 and so putting more and more resources into the  
17 natural gas is not the way to go.

18 And greenhouse gas allowances, natural  
19 gas is much cleaner than coal, but it is not  
20 without emissions. And there is a cost associated  
21 with those, and you can't just add more natural  
22 gas as your way of meeting AB-32.

23 Nuclear. The latest estimates in  
24 Florida for the new nuclear power plant there is  
25 \$8000 to \$10,000 a kilowatt. That makes

1       renewables look like a heck of a deal. And this  
2       was reported by Florida Power and Light and by  
3       Nucleonics. This wasn't my number.

4                You also see it in the DOE report that  
5       nuclear prices are through the roof. This is not  
6       counting fuel, not counting decommissioning, not  
7       counting any other costs of handling spent fuel,  
8       any of that. This is just the capital cost of  
9       putting in a new nuclear plant.

10               In transportation, as we mentioned  
11       earlier, you might go to plug-in hybrids or  
12       hydrogen. With buildings you may see some  
13       switching to ground-source heat pumps or things of  
14       that nature, all of which will drive up the demand  
15       for electricity.

16               The last options require clean  
17       electricity supply. It doesn't make any sense to  
18       go to plug-in hybrids or hydrogen if you're going  
19       to have a dirtier electricity mix. You have to  
20       have a clean electricity mix in order to have that  
21       make sense in the greenhouse gas context.

22               So, what are the options? Well, over  
23       the next 10 to 15 years, and that's the critical  
24       time, so if you've heard any of the discussions,  
25       if you're listened at all to the discussions on

1 climate change you know now is the critical  
2 period. Whatever we can do now will cost us less.  
3 If we wait, we go over tipping point, and we may  
4 have catastrophes that we can't do anything about,  
5 and the costs will be much, much bigger.

6 So what have we got? We've got energy  
7 efficiency and conservation, and we should be  
8 doing every bit of that that we possibly can do.

9 And we've got renewable energy. That's what  
10 we've got today.

11 Regardless of your future technology  
12 preference, if you wanted nuclear you could not  
13 get a nuclear plant built in a ten-year time  
14 window. If you wanted hydrogen you are not going  
15 to have that technology perfected in the next ten  
16 years.

17 If you wanted clean coal with carbon  
18 capture and sequestration, you are not going to  
19 have any amount developed in the next ten years.  
20 Not counting the fact that we don't know what any  
21 of those technologies are going to cost us.

22 Somehow we always have this, the less we  
23 know about something the better it looks. And so  
24 there is a temptation to really hope that there's  
25 a technology fix out there someplace. And there

1        may well be, but I think in the next 10 to 15  
2        years we have to do energy efficiency and  
3        renewable energy.

4                That's what we've got. And we can do it  
5        if we have the political will. And if everybody  
6        is working from the same agenda. That's not  
7        always true, unfortunately. But that's what we  
8        need.

9                The key renewable implementation issues,  
10       transmission line construction, administration, we  
11       just have to get those transmission lines up and  
12       going. And we know that siting anything is  
13       difficult. Siting at a national park is even more  
14       difficult. Maybe you need to look in an  
15       alternative path. But transmission, transmission.

16               We've gained some momentum among  
17       transmission. The ISO has done an excellent job  
18       in changing a lot of their rules and looking in  
19       their planning side for ways to accommodate the  
20       renewables that are required by law. And we need  
21       to keep that momentum going.

22               We need to, as I said earlier,  
23       streamline the RPS procurement process and maybe  
24       find a way to strategically have a feed-in tariff  
25       for innovative technologies, for projects that can

1       come online rapidly because of their location or  
2       other reasons.

3               We need to be thinking creatively and  
4       not just think about the way we've done things  
5       before, including the feed-in tariff. We need to  
6       think, well, creatively, if we put a feed-in  
7       tariff in, if it costs us 1.5 percent of a total  
8       contract value per month that they're delayed,  
9       then maybe there's a way that the consumers could  
10      offer a premium for coming online sooner for those  
11      projects that are able to do it.

12             But if they get the same price or lower  
13      price, as brown power, then the feed-in tariff  
14      probably isn't going to do a lot of good. But I  
15      think we can think creatively and I think we can  
16      come up with answers that'll be helpful.

17             Remember California's in competition  
18      with other western states RPS programs and  
19      greenhouse gas reduction programs. If I'm going  
20      to build a project, do I want to sell it in  
21      California; do I want to sell it to one of the  
22      other neighboring states.

23             There's a lot of consideration goes into  
24      that. And the data I mentioned earlier about the  
25      voluntary market and how 20 percent of that



1 market's coming from California indicates there's  
2 people who have decided not to sell into the RPS  
3 structure.

4 There are lost opportunity costs to  
5 utilities of implementing more renewable energy.  
6 We need to keep that in mind because, though not  
7 purposely, it does influence rapid movement.  
8 There are benefits to some utilities of not moving  
9 things along as rapidly as they might move.

10 And you can't blame them for that. It's  
11 built into the structure of how we do utilities,  
12 how we do utility rates and other things.  
13 Nevertheless, we can't let that get in the way of  
14 everything.

15 So, the PUC, I think, still needs to  
16 clarify the impact of RPS noncompliance. And  
17 supposedly there are fines there, but under what  
18 circumstances would fines actually be levied. Or  
19 will anybody ever have to pay any. It would be  
20 good for everyone to be clear on exactly what  
21 delay means.

22 Otherwise, if noncompliance costs  
23 utilities nothing, delay is inevitable. And  
24 that's just a fact of life.

25 So, in summary, since 2005 the cost of

1 all supply technologies has risen as much or more  
2 than the costs of renewable energy, technologies  
3 has risen. The state has been slow to achieve the  
4 20 percent RPS, but neither factor provides a  
5 reason for not moving to 33 percent RPS.

6 Renewable energy is as good or better  
7 investment today than in 2005. The longer we  
8 wait, the more it will cost California's  
9 electricity consumers. The high-cost path is to  
10 have no 33 percent RPS.

11 Thank you.

12 MS. DOUGHMAN: Okay, our next speaker is  
13 Mike Jaske.

14 DR. JASKE: Thank you, Pam. Despite  
15 what the agenda says, I'm actually going to focus  
16 on the subject of resource adequacy and how that  
17 affects renewable development, which I think is a  
18 dimension of the sort of regulatory planning  
19 structure that's been under-focused on up to this  
20 point.

21 So do some things, just give you some  
22 background about what resource adequacy is all  
23 about. Talk about this concept called net  
24 qualifying capacity -- there's some letters  
25 missing there -- and implications then for

1 renewable resource development.

2           So, from the ISO's perspective, you  
3 know, its reliability responsibilities have to be  
4 primary over everything else. And the ISO has  
5 been pushing for a mechanism that allows it to  
6 commit and dispatch generators when, you know,  
7 market forces don't bring the right resources to  
8 bear. And this frequently happens under some sort  
9 of contingency circumstance, not just, you know,  
10 normal operations.

11           We've been getting by for a long period  
12 of time now with the June 2001 FERC decision that,  
13 you know, sort of brought some order to the  
14 California crisis of 2000/2001. But that's going  
15 to go away, scheduled to go away with the MRTU  
16 implementation. And new mechanisms are being  
17 designed to substitute for this thing, going by  
18 the acronym, MOO, must offer obligation.

19           So, the ISO has a tariff that creates  
20 resource adequacy requirements for all the LSEs,  
21 load-serving entities, in its balancing authority  
22 area. In that construct there are entities called  
23 local regulatory authorities which are essentially  
24 the governing board over a utility or was  
25 influencing another form of entity.

1                   And there's a whole lot of default  
2           mechanism in there if these local regulatory  
3           authorities fail to put together the right pieces.

4                   The PUC is the local regulatory  
5           authority for the three IOUs, and for the  
6           remaining 11 ESPs. We lost one ESP as of the  
7           middle of this month.

8                   AB-380 came along in year 2006 and  
9           clarified that the PUC did have resource adequacy  
10          control over ESPs, which some ESPs were sort of  
11          contesting up to that point. And also gave some  
12          statutory direction to the PUC about what it was  
13          supposed to accomplish through a resource adequacy  
14          program.

15                  And that legislation also gave the  
16          Energy Commission some very limited oversight over  
17          the publicly owned utilities, essentially dealing  
18          with collecting information about what they were  
19          doing in terms of resource adequacy, seemed to be  
20          sufficient, and then to report that to the  
21          Legislature, which we have now done one time, as a  
22          small piece of the 2007 IEPR and a staff report  
23          behind that.

24                  There's two parts to resource adequacy.  
25          There's thinking about it from the system level

1 and the local level. So, let me focus on system  
2 level. First of all, there's a requirement for  
3 every month, all 12 months of the year. Every  
4 month is treated individually, with some limited  
5 exceptions.

6 The May through September months have  
7 special provisions and each LSE has to provide a  
8 showing how they're satisfying that May through  
9 September set of months on what's called a year-  
10 ahead basis.

11 So, in the fall each LSE will file  
12 something for all of this year, each LSE will file  
13 something for all of calendar 2009. So that's why  
14 it's called year-ahead. A few months ahead for  
15 January and 15 months ahead for December.

16 And then as you go into every individual  
17 month of the year, there's a month ahead showing  
18 which sort of brings the whole package together.  
19 And there's generally a filing 30 days ahead of  
20 that month where you have to show the totality of  
21 your requirement being satisfied.

22 The PUC and ISO go through and they  
23 check these things. They verify that the  
24 generators that are identified in those filings  
25 are, in fact, available to them. And they are

1 going to become the only generators that the ISO  
2 can commit and dispatch.

3 And at the moment we still have a few,  
4 well, until MRTU takes effect, we still have the  
5 FERC must offer obligation on all generators in  
6 the ISO control area. But once MRTU takes effect,  
7 only resource adequacy generators will be  
8 dispatchable by the ISO, except under some other  
9 very extraordinary conditions.

10 Actually -- oh, it's to distract your  
11 attention. The focus of the word system is on a  
12 resource -- the resources that satisfy a load-  
13 serving entity's load wherever it is in the ISO  
14 control area.

15 So, if your strategic energy is an ESP  
16 version of an LSE, and you have, you know, X  
17 hundreds of megawatts of direct access loads  
18 scattered around California, you have an  
19 obligation to produce resources that cover that  
20 load, plus the 15 percent.

21 For the system purposes, you don't have  
22 to link the physical location of your load with  
23 the physical location of a resource. And, of  
24 course, any other generators -- or any other load-  
25 serving entities don't have that kind of local

1       specificity requirement for the system.

2               Local is the complement to the system,  
3       and it does do precisely that. Ties where the  
4       load is to what the resources are that can  
5       actually serve that load, given the fact that the  
6       transmission system has constraints, and that  
7       there's this thing called load pockets.

8               So there are ten load pockets that have  
9       been recognized by the ISO at this point, given  
10      the nature of the transmission system. The ISO  
11      does a technical study every year to determine,  
12      given any transmission system changes, and perhaps  
13      load growth, what is the minimum amount of  
14      generation within that load pocket that has to be  
15      secured by all the LSEs that have load in that  
16      load pocket.

17              It does that by examining peak demand at  
18      a one-in-ten condition. And so this is a summer  
19      stress to the system. And that level has to be  
20      satisfied across the entire year.

21              These local requirements, in effect, are  
22      the first tier of satisfying the overall resource  
23      adequacy requirements. So local has to be  
24      satisfied first, and then system. So, local  
25      requirements can only be satisfied with a limited

1       number of local resources. Those local resources  
2       can also count for a system to the extent they're  
3       available and the LSE chooses to use them in that  
4       way. But not vice versa.

5               So an entity -- well, let's take San  
6       Diego, because I see Rob sitting in the audience.  
7       San Diego has a certain obligation for local  
8       resources, even though it might like to procure  
9       generators in northern California, it's limited in  
10      its ability to do that by having to satisfy its  
11      local obligation with local generators first.

12             This is just a picture that shows you  
13      what these LCRs areas are. And there are some  
14      intervening areas, so there's the sum of all the  
15      loads in the local areas is not the composite of  
16      the entire ISO.

17             And Big Creek Ventura one, which is sort  
18      of pink cross-hatched, that was actually added for  
19      2008. It hadn't been recognized previously. So  
20      that's the basic overlay of what resource adequacy  
21      is.

22             Now, that qualifying capacity is the  
23      concept of, at its broadest level, how do you  
24      count the capacity of resources in this context of  
25      a resource adequacy construct aiming at



1 reliability.

2 Most generating technologies at this  
3 point have a single value, is a dependable  
4 capacity kind of number. It's used year-round.  
5 Some technologies, wind and solar, without backup  
6 in particular, have monthly values based on the  
7 variability of their performance. And those  
8 numbers are updated periodically.

9 They're updated in this way. There's a  
10 data from the preceding three full years. So  
11 there's this rolling three-year averaging process.  
12 It takes the data on actual hourly production  
13 during the noon to 6:00 p.m. period, because  
14 that's what's relevant to peak.

15 And if an individual wind or solar  
16 facility doesn't have sufficient production  
17 history that their own numbers can be used to  
18 calculate their unique NQC, then there's a  
19 protocol that says you use the average of all of  
20 the facilities in the transmission area. And  
21 gradually roll in its CD data and roll out the  
22 average of all the similar resources.

23 The Energy Commission Staff has the  
24 function of updating these values annually, which  
25 we have just about completed for the upcoming 2009

1 resource adequacy compliance year.

2 And as Jan was indicating, there are  
3 some merchant wind projects out there that,  
4 although, of course, the great majority of these  
5 are still QFs or a few new RPS projects.

6 So here's an idea of what these monthly  
7 NQC factors look like. I'm reporting here in the  
8 sense of this derate relative to nameplate. So  
9 these are actually the values that for 2009 will  
10 be applied to any new wind machine that doesn't  
11 have its own production history.

12 Green is the northern area; blue is the  
13 Tehachapi, San Gorgonio on south area. And you  
14 can see there is both a wide variation in the  
15 average onpeak performance from month to month.  
16 And quite a bit of difference between northern and  
17 southern resources.

18 This is the kind of variability that was  
19 brought to the PUC back at the inception of the  
20 resource adequacy process in 04 and 05, and it is  
21 embedded in the current requirements.

22 Now that we've had some level of  
23 experience in counting wind and solar without  
24 backup in this manner, some parties are now  
25 raising questions about whether that level of

1 treatment is actually exceeds the true performance  
2 of these resources at peak.

3 And the ISO, in particular, has been  
4 pushing for what it would call more accurate  
5 formula. This was tackled, in part, this spring,  
6 but was so controversial that it has been  
7 postponed. And the current formula is going to be  
8 continued for calendar year 2009. So if anything  
9 changes it won't be until 2010.

10 This is a chart that helps to explain  
11 why it is there's concern. What we're looking at  
12 are the hours from 1200 to 1700 on a July day.  
13 This is the average for all the five years from  
14 2003 through '7. This is for all wind machines in  
15 the ISO control area. And these are megawatt  
16 hours per hour, so that's, in effect, the average  
17 output of the facility as the vertical scale.

18 The dashed line across the very center  
19 of the graph is what the current NQC formula would  
20 provide. So, somewhere around 480 megawatts.

21 The blue line close to it is the  
22 individual hourly data for those same facilities.  
23 So average of those and the individual -- well,  
24 actually just the average is for the last three  
25 years. That's the actual number that will be used

1       in 09. The blue line is the average of all five  
2       years. And so there's a little bit of difference  
3       between the average of the last three versus 05,  
4       but it's very very close.

5               The red line is what is the subset of  
6       days that were extremely hot and it exceeded a  
7       certain temperature maximum associated with the  
8       peak forecast.

9               So here we get to the crux of the  
10       problem. The red line is below the current NQC  
11       formula, the dashed line, in every hour, although  
12       it is rising as you get toward hour 17, and the  
13       peak is somewhere around hour 15 or hour 16. So  
14       it's closer there than across the entire six-hour  
15       span.

16               Some people would say this is an  
17       argument to reduce the value. A counter argument  
18       is that there is a lot of variability even in  
19       those seven peak day observations. And that's  
20       what the blue shaded envelope is.

21               So even though there's only seven  
22       observations making up the red line, they have so  
23       much variation that they are the shaded blue  
24       envelope around the red line.

25               So this is the dilemma. There is just

1       so much variability in wind performance at peak,  
2       which of course is the time when the ISO needs  
3       these resources the most, that we need a more  
4       sophisticated method than just this averaging  
5       technique. And later this year, phase two of  
6       resource adequacy process will start up again and  
7       try to tackle this with who knows what  
8       consequence.

9               Here's the nexus with local resource  
10       adequacy. The PUC just adopted ISO's number of  
11       just short of 28,000 megawatts. Hardly any of the  
12       renewables are in these load pockets. So, a RPS  
13       strategy or another renewable strategy that places  
14       more and more weight on this is, in effect,  
15       creating resources that are outside of the load  
16       pockets.

17              Strategy to deal with this is different  
18       from the overall system operation perspective that  
19       Dora in the IEP, or that Dave in the ISO's other  
20       study, you know, are going to talk about. They're  
21       talking about things that the overall system can  
22       do in order to deal with the hour-to-hour, or even  
23       within-hour kinds of variations.

24              This is a time horizon associated with  
25       planning. It has to do fundamentally with that

1       one chart I showed you about how resources differ  
2       over the course of months that leads to a  
3       different or complementary set of resources that  
4       go along with renewables.

5               And they could, and they need to be ones  
6       that can be dispatchable at peak, because that is  
7       the essence of what resource adequacy is all  
8       about.

9               You have the irregularity of wind  
10       machine output, or the predictability of the  
11       nonoperation of solar without backup to deal with.  
12       As both of those become bigger and bigger pieces,  
13       if they interact with shifts where system load is,  
14       to build load in offpeak periods, we have to be  
15       able to have some sort of technology that will  
16       either both deal with these sort of holes in the  
17       production of the whole system, or deal with the  
18       contingencies that a transmission line goes down  
19       or some other dispatchable resource becomes  
20       nonoperational.

21              And the obvious things that one can  
22       think of are combustion turbines, or some kind of  
23       storage devices in much more massive scale than  
24       exists anywhere now, on both a daily basis; and to  
25       some extent, on a long-term basis.

1                   So, that is the challenge that resource  
2           adequacy presents for the whole class of renewable  
3           technologies. There aren't well-developed methods  
4           for projecting resource adequacy requirements out  
5           into the future. And when we do our panel  
6           discussion later, I'll explain a little bit about  
7           how the scenario project tackled this. But this  
8           is a dimension of analysis that needs much more  
9           work.

10                   Thank you.

11                   MS. DOUGHMAN: Thank you. Our next  
12           speaker will be Dora Yen Nakafuji. She will talk  
13           about the intermittency analysis project.

14                   DR. NAKAFUJI: All right, moving along.  
15           This might be a little bit of a repeat for some  
16           folks who followed the IEP process in the previous  
17           years. But I wanted just to highlight this was a  
18           project that resulted from the collaboration of  
19           many industry folks, along with utility  
20           collaboration in order to gather the information  
21           from both the transmission planning, as well as  
22           the operational perspective.

23                   So, in terms of looking at operational  
24           contingencies and transmission planning reserves  
25           and contingencies, the IEP did consider those

1 issues as part of the location and the integration  
2 of renewables.

3 Intermittency analysis project really  
4 was focused on high penetration of wind with some  
5 solar resource impacts. And derived from the RPS,  
6 the targets were essentially set based on the  
7 policies at the time.

8 As mentioned earlier that we have  
9 policies that are continually moving, and also  
10 regulatory environments and markets that are also  
11 changing. So, this is kind of the snapshot of  
12 where we were at that time.

13 And it presents kind of a perspective of  
14 where we're going to grow. I mean in order to  
15 meet 33 percent you can see what our gap, and some  
16 others consider that as opportunities, may be. It  
17 doesn't say what portfolio mix of renewables or  
18 other resources or other energy efficiency methods  
19 we should incorporate. But it does say these are  
20 the opportunities.

21 Some of the questions we attempted to  
22 answer and consider, and that was brought up in  
23 various groups, was what is the system going to  
24 look like in order to adequate dispatch some of  
25 these resources. So we had to come up with some



1 perspective on that.

2 And what is needed for the grid to  
3 accommodate both an infrastructure market and  
4 regulatory and technologies. I won't cover all of  
5 those other topics, but we did look at  
6 international experiences, too. We reviewed a  
7 bunch of countries that have significant level of  
8 renewable penetration, specifically wind. And did  
9 a review of both their electrical infrastructure,  
10 their market and their regulatory environment to  
11 consider things that California could adopt, given  
12 our system.

13 And what were the impacts of increasing  
14 renewable energy penetration on system reliability  
15 and dispatchability.

16 So the IEP really focused, and it drew  
17 from a CEERT study that was done previous to, I  
18 believe it was the 2000 -- it was the year before,  
19 2 IEPR, or 2000 -- but there was a CEERT study  
20 that was done and it's listed in the documentation  
21 as part of the package.

22 But really the CERT study focused on  
23 operational needs, operational impacts dealing  
24 with renewables. So, these are some of the  
25 categories that were highlighted in terms of

1 defining attributes, reducing uncertainty,  
2 focusing on some of the policies and how do we  
3 plan, what are the planning tools we may have to  
4 consider.

5 The way IEP approached it was in  
6 addressing some of those attributes, we needed to  
7 come up with these performance curves. The  
8 technology traits in order to understand how do we  
9 even consider those generations on our current  
10 system.

11 Reducing uncertainty. We needed to have  
12 a consistent dataset that looked beyond just one  
13 year. Multiple years to capture the seasonal  
14 variations of some of these technologies.

15 And the transmission dataset, that  
16 dataset that's vetted and adopted within the  
17 industry, and that the industry is comfortable  
18 with.

19 Resource policies, looking at lessons  
20 learned, worldwide experiences, and what could  
21 potentially be adopted in the California  
22 infrastructure.

23 And improving planning tools. So,  
24 through this exercise we developed some tools that  
25 allowed all of us who are not all utility

1 transmission planners or operators, to kind of get  
2 a sense of what their operational environments are  
3 like, and what their challenges are day-to-day.

4 Most of all I think IEP provided a  
5 common perspective. Again, to give all of us who  
6 don't deal with the dispatch requirements or the  
7 planning requirements of the utility, or at ISO, a  
8 sense of some of the concerns and a sense of some  
9 of the constraints on our system.

10 So it certainly was a step in that  
11 direction. It certainly didn't answer all the  
12 questions, but it started to formulate that  
13 consistent base of data so that other studies  
14 could be drawn from or consistently built upon.  
15 Because it, again, is a snapshot in time and that  
16 this needs to be periodically done as  
17 transformation occurs on the system.

18 This essentially are the scenarios that,  
19 based on industry discussions, we knew that there  
20 were current activities being pursued in certain  
21 regions. Southern California. So we looked at a  
22 significant amount of resources coming from the  
23 Tehachapi area.

24 There were study groups happening in  
25 Imperial and Tehachapi, but we also needed to

1 consider the rest of the state. So, really it was  
2 a statewide focus. We didn't consider the outside  
3 WECC regions. And those were done for a reason,  
4 because we didn't want to, you know, outreach our  
5 scope. And have some results to build from. And  
6 looking at 2020 33 percent accelerated goals.

7 In terms of pulling together both the  
8 transmission modeling of the electrical  
9 infrastructure necessary to accommodate  
10 significant renewables, and to look at the  
11 operational reliability we needed to look at all  
12 the timeframes that, from a planner or a utility  
13 dispatcher need to consider.

14 Planning happens on year intervals,  
15 years. And when you consider now climate change  
16 issues, they're looking at decades. So somehow we  
17 needed to connect the data that's set up in those  
18 annual or decades datasets into something that  
19 could provide insight to a dispatcher who has to  
20 deal with them on a five- to ten-minute basis.

21 So the approach really was not just  
22 economics. We did look at economic metrics as a  
23 way to kind of say, well, what technologies could  
24 be viable in order for us to reach 2020 and have  
25 the confidence in those technologies to build out

1       our infrastructure.

2               But the issue was also looking at how  
3       much could we realistically get in the ground  
4       before we hit that timeline. So we really looked  
5       at a transmission basis, providing a transmission  
6       metrics as a measure of how valid that resource,  
7       or how beneficial is that resource on the grid in  
8       both alleviating congestion for a load zone, or  
9       looking at the ability to dispatch that resource  
10      to alleviate congestion in some areas.

11             Some of our grid, in terms of  
12      interconnecting, if it's at a remote location, it  
13      could actually cause problems on the grid when  
14      it's on, versus helping the grid. So we wanted to  
15      identify those locations based on a transmission  
16      framework as it exists today. Then we can morph  
17      it and say, okay, were are the weaknesses now.  
18      And then add on transmission kind of -- or add on  
19      generation, lowest hanging fruit first, and then  
20      continue to stress the system until we hit 33  
21      percent.

22             One of the results that came out of this  
23      based on the scenarios that we evaluated, and I  
24      think that has to be -- Snuller mentioned that, is  
25      there's so many different scenarios that you can

1       come up with. And we need to consider that based  
2       on the assumptions that we put into the IEP.

3               These are the types of transmission  
4       upgrades and the cost estimates based on kind of  
5       an N-1 contingency failure. We didn't go to the  
6       extent of looking at the N acquisition or any of  
7       the other details. But this is very high order of  
8       magnitude levels, or high order estimates of the  
9       cost for new lines, as well as upgrades and  
10      facilities infrastructure to support those lines.

11             So that's not a small figure, 5.7 billion  
12      plus 655 million.

13             Now, considering those kinds of costs we  
14      did not estimate a economics, you know, for wind  
15      generation. But looking at these costs it rolls  
16      back to the utility to look at and say what can we  
17      afford. What kind of -- because it's going to be  
18      ratepayer based to accomplish some of these  
19      transmission buildouts.

20             So from that we provided those  
21      characteristics based on the system, based on the  
22      needs, based on expansion and the assumptions we  
23      put in for IEP.

24             We also looked at where should these  
25      resources be located, given their variability.

1 Geographic diversity. We considered their  
2 intermittency, their availability based on  
3 seasonal trends.

4 For regions that are undeveloped,  
5 especially for wind, we devoted considerable  
6 resources to come up with forecasts in those  
7 regions in anticipation of new renewable  
8 generation from those regions.

9 So we provided, in areas we don't have  
10 information on wind, we used a state of the art  
11 measure scale model to -- it's basically the model  
12 used for the program forecasting program, but we  
13 extended it out to 2020. And considered the  
14 profiles, the hourly profiles that we would need  
15 for some of the dispatch requirements. And  
16 considered the 3000 megawatts of PV, as well as  
17 3000 megawatts in Tehachapi.

18 So, I'm not going to go into the details  
19 of the portfolio mixes. These are all in the  
20 reports. But essentially we were able to attain  
21 the different targets.

22 Now, what we also did was this 2010 X  
23 scenario, which we stressed the system to see how  
24 much more renewables could we put on the system  
25 given a 2010 infrastructure. And then that'll

1       give us kind of guidance into looking at where  
2       else will we have to build additional transmission  
3       in order to get to a 2020 33 percent goal.

4               So, some of the highlights of the report  
5       include coming up with these characteristics on  
6       the system. 12,500 megawatts of wind. Now, we  
7       again, because this was an intermittency study, in  
8       places where we could accommodate more wind we  
9       stressed the system by pushing further wind,  
10      rather than saying it's a baseloaded geothermal  
11      facility.

12             But we made sure that the utility  
13      transmission planning models, they actually were  
14      satisfied in terms of what their contingencies and  
15      their requirements needed to be. So we did add  
16      conventional generation for stability requirements  
17      and other requirements for the case to solve.

18             Looking at some of the intermittency  
19      conditions we were able to look at conditions on  
20      the system where there was high load or minimum  
21      loads. We looked at forecasting with energy  
22      forecasting as a tool to provide some insight into  
23      improving the way that the system currently  
24      manages wind.

25             And we were able to quantify the savings



1       or the benefits in a dollar amount for having a  
2       wind forecast versus having no wind forecast. And  
3       then looking at additional costs for regulation  
4       and load following in an incremental from a system  
5       basis, incremental, indirect costs for meeting  
6       those compliance targets, as well as planning  
7       requirement targets for operations.

8               What was interesting as we continued the  
9       study, or as we did our dispatch operation studies  
10      was for various conditions on the system we  
11      noticed we were trying to quantify what the  
12      characteristics were on the system. Doesn't  
13      matter if you're PG&E or SCE or SMUD or any of the  
14      other utilities, you have to manage your  
15      portfolio. And you need to understand what your  
16      generator's going to provide you.

17             And so what we ended up doing was  
18      looking at the Cal-ISO system as a proxy for the  
19      State of California, and saying what can the  
20      system provide us right now in terms of ramping  
21      capability.

22             Most of it came from our hydro  
23      resources. That's what the operators were doing.  
24      So it wasn't one side -- this side is the plant,  
25      the other side is the actual dispatch.

1           So you can see the difference in the way  
2       that there's variation in that just to meet load  
3       variation throughout the day, and also just in the  
4       way that the dispatcher's used to dealing with the  
5       resources.

6           So, by looking at that we removed the  
7       hydro out of the system and said for a year we had  
8       very very low hydro, what would you have to do.  
9       So, in these instances we played these kinds of  
10      sensitivity games, given the analysis and given  
11      the data. And showed that the system, based on  
12      these assumptions, came up with a 200 megawatts  
13      per minute capability in terms of a ramping.

14           We also looked at -- and this is  
15      something that's very important for resources that  
16      were expanding into areas of kind of undeveloped  
17      areas, or unknown resources. We really needed to  
18      understand the wind data, the characteristics of  
19      the generator, in order for us to accommodate it  
20      on the system. Whether it's the wind resources  
21      validating it with some information, or whether  
22      it's the power curves from the different  
23      technologies that are currently out there.

24           For emerging technologies in California,  
25      if we looked at low wind speed potential, that

1 means class 3 and above, right now we're looking  
2 at the high wind speeds, which are class 5 and  
3 above. If we looked at class 3 and included that  
4 range, we would actually increase our footprint of  
5 usable wind for utility scale resources by five  
6 times. So our footprint would have increased that  
7 much if the technology of the emerging technology  
8 could capture those resources. And that's kind of  
9 the direction that the industry is going right now  
10 by looking at low wind speed resources.

11 Another issue that impacts resource  
12 adequacy is exactly this issue of seasonality and  
13 geographic diversity. So, just because you have a  
14 baseload resource doesn't mean that it is the best  
15 thing for your system. It really depends on your  
16 portfolio.

17 So you look at geothermal, during  
18 different seasons it may have a good or a bad  
19 impact on your system. Neutral meaning it doesn't  
20 help you either way. Spring and fall means that  
21 in that location it might cause you congestion if  
22 it's generating, because you're receiving a lot of  
23 hydro during runoffs, during the spring season.

24 In other areas, this just kind of gives  
25 us a perspective of the different types of

1 resources that we could potentially inject into  
2 those regions to meet load.

3 So this essentially is a listing of some  
4 of the references that we had for workshops that  
5 vetted out the study. The only thing that's not  
6 on here, I just noticed, is the final report link.  
7 So if anybody's interested in the final report  
8 link, that document -- sorry? Oh, okay, all  
9 right. Pam has it, but the report number is 500-  
10 2007-081. And that's the final report. And  
11 there's two large appendices that will be very  
12 interesting reading, appendix A and appendix B.  
13 So just don't grab the final report, because  
14 there's two large appendices that also accompany  
15 it.

16 That's essentially it.

17 MS. DOUGHMAN: Okay, our next speaker is  
18 Dave Hawkins from the Cal-ISO.

19 MR. HAWKINS: First I'd like to  
20 congratulate Dr. Jaske, an excellent presentation.  
21 Resource adequacy is a very complicated subject  
22 and has a lot of ramifications, as we look at  
23 these renewables project.

24 And one of the big impacts, of course,  
25 is that if you have to run a lot of local

1 generation to support the voltages and so forth,  
2 when you get to 2:00 a.m. in the morning and the  
3 wind is blowing full out, where do you have enough  
4 room to negotiate down all the rest of the  
5 generation to accommodate that amount of wind.  
6 And that's been one of the challenges that we had  
7 as we looked at our integration of renewables  
8 study that we were doing. We published our report  
9 last November. So this over-generation was one  
10 key issue.

11 So if you're in the spring time, hydro's  
12 running full out, everything is full out, plus  
13 you've got local requirements you have to meet,  
14 there's not enough room for all of that. Which is  
15 why we need the plug-in hybrids to bring out some  
16 more nighttime load and other ways of doing it.

17 The result of the study that we did last  
18 year, like all good engineering studies, pointed  
19 out the fact that we needed more studies. And so  
20 we did a lot of work explaining in that original  
21 report, of what the impact, first of all, was on  
22 the Tehachapi transmission plans, and everything  
23 we needed to do to make those plans successful.

24 And then the second part of the report  
25 dealt with the operational issues, how much

1 regulation, load following, ramping, all these  
2 kinds of things that Dora talked about.

3 Our particular study extended the work  
4 that we did on the IEP and went into more in-depth  
5 modeling of some of the resources, and came out a  
6 little bit higher amount of regulation that we  
7 would need.

8 But the net result was, and this is  
9 really critical message I think we're trying to  
10 deliver from the ISO, is we will make it work.  
11 Twenty percent renewables will work. We can make  
12 it work.

13 And it's not absolutely nothing, you  
14 know, just an extension of today. You really have  
15 to do a lot of things to make it happen. But it  
16 is achievable and the system will be reliable.  
17 And we can get there.

18 So, out of that initial work then we  
19 develop that says, okay, what are we going to do  
20 now. We published our report. What's the next  
21 steps. And we identified at least a dozen  
22 different projects that had to be done. And those  
23 now have been clustered into an overall program  
24 that we have been doing for 2008/2009.

25 The first part is really creating these

1        what we call operational tools. So we have, and  
2        Dora already mentioned, if you're going to have  
3        all this wind show up, you have to have a  
4        forecast. And if you haven't forecasted it  
5        successfully day-ahead, then you start a whole  
6        bunch of units that ultimately you're not going to  
7        need. Or then you have them sitting at the  
8        bottom. And also then you have a lot of consuming  
9        of gas and greenhouse gas production and, you  
10       know, things like that that you really don't want.

11                So, forecasting is absolutely critical.  
12        So we're out of the gate now this year with a  
13        major RFP, and we're doing indepth studies of  
14        three different companies that are doing wind  
15        generation forecasting, trying to improve our  
16        forecasting capability.

17                We've been using hour-ahead forecasting  
18        now for several years quite successfully. And we  
19        can usually nail the wind forecast within about  
20        40, 50 megawatts of hour- to two-hours ahead.

21                But for day-ahead forecasting, that's  
22        been a much harder, much bigger variable. CEC has  
23        invested research and development dollars in that  
24        area. We've built better models. And now you're  
25        seeing really commercial companies coming to bear

1       that can make that happen.

2               The next piece, of course, is trying to  
3       do solar forecasting. And this is an area where  
4       we are -- more research and involvement at this  
5       point. We only have, well, 400 megawatts or so of  
6       solar in the state. And it's really old  
7       technology.

8               We've got all the new types of solar  
9       coming, different kinds of things. And the  
10       question's going to be how successful can we  
11       forecast those particular areas.

12              Second issue -- well, then, of course  
13       the other thing with that, if you want to make  
14       operating decisions and take action, you can't  
15       hide the forecast in the back room with a  
16       forecaster and expect the operators on the floor  
17       to take action. So you have to provide some type  
18       of a graphical display, some type of thing that  
19       says, heads up, here's where the system's going to  
20       go in the next 15, 20, 30 minutes. No surprises.  
21       Here's a weather front that's coming in.

22              If you're like Alberta, the other day  
23       Alberta actually had a tornado; I think it was  
24       going through their windfarm area. And it went  
25       from zero to full output as the tornado went



1 through. And then it went to zero again in a very  
2 short amount of time.

3 You've got to be able to see these  
4 things coming. You've got to, whether you're  
5 using a Doppler radar or some other type of  
6 system, or meteorological towers, you've got to  
7 see the storm fronts coming and hitting your  
8 particular facilities.

9 And if you know that's coming and you  
10 can forecast it, you can set the system up to be  
11 able to have that maneuverability and so forth.  
12 So that's one of the key issues.

13 Second thing, of course, is identifying  
14 both market barriers, operational areas barriers,  
15 what things we have to change to accommodate  
16 getting more wind into the system, or all types of  
17 renewables, how to make that go.

18 Third part, which really relates to much  
19 more today is okay, now what are all these  
20 operational impacts. How are you going to make it  
21 work; how do you handle transmission constraints;  
22 how much regulation and ramping are going to add.

23 Now, wind and these renewables, we have  
24 a certain amount today in 2008. And we have that  
25 20 percent in the future, which we think is going

1 to be about the end of 2012. So although we are  
2 behind schedule, we do think it's going to get  
3 there. And we are on track. We will make it to  
4 the 20 percent.

5 So by the end of 2012, and it's going  
6 into 2013, the transmission system is built out.  
7 We think the renewable facilities will be built  
8 out, and we'll start to see the energy production  
9 out of these things. This is okay.

10 But we have things happening in 2009,  
11 2010, 2011, and my vice president of operations  
12 looks at me and says, well, how much do I need for  
13 every thousand megawatts that comes on the system.  
14 And so we're developing numbers to show  
15 incrementally what the changes are going to be for  
16 each of the next years as we go forward.

17 As we look at the 33 percent type  
18 studies, we're just beginning to do more indepth  
19 work. The original work was done with Dora and  
20 the CEC on the IEP studies. We did a lot of work  
21 looking at that. But that was a fairly quick  
22 study compared to the indepth we're actually doing  
23 implementing the 20 percent.

24 And what we really have been counting on  
25 is the solar. So we're looking for concentrated

1 solar, photovoltaic solar, other types of solar to  
2 come on as a really big complement to the wind.  
3 And as the wind basically dies away in the early  
4 morning hours, or the morning hours, during the  
5 morning load ramp up, we're expecting to see the  
6 solar come on and start to ramp up.

7 And if you put the two together then  
8 they make a good partnership. And the other  
9 question is how to put them together and make sure  
10 that we've got a good marriage of those  
11 facilities. So, that's a part of our big effort  
12 looking forward to 33 percent.

13 Another major piece that I'm working on  
14 is storage technology. And storage technology is  
15 finally arriving. There's basically two types.  
16 The first type, of course, you're all familiar  
17 with, which is the pump storage plants.

18 Pump storage has been around for a  
19 number of years. It's very successful. The  
20 operators love it. They can call up PG&E Helms  
21 Plant and say ramp up. You can either ramp up on  
22 the load side, or ramp up on generation. And it  
23 adds a wonderful flexible facility.

24 The question is going to be are we going  
25 to have more pump storage in the future. If so,

1       where. And if you want to shift a lot of energy  
2       from offpeak periods to onpeak, pump storage is  
3       one good way to do it.

4               The other thing that's being proposed  
5       now is compressed air storage. The CEC funded a  
6       major compressed air storage work. It looks very  
7       interesting. There are basically two plants, I  
8       think, in operation in the world. One is, I  
9       think, in Kentucky. Is that right? Alabama. And  
10      the other one is, I think, in Germany.

11             Both of those use a salt cavern place to  
12      compress the air. I don't think we have any salt  
13      caverns in California, so we're looking at oh, gas  
14      wells and so forth, as places that we potentially  
15      could use for that.

16             So the question is research looks good.  
17      EPRI, Dr. Shainker says this is the right thing to  
18      do. It has an 85 percent roundtrip efficiency.  
19      Looks good on paper. We need a demonstration  
20      project. We need somewhere to build one of these,  
21      actually see how it works and get it in. And  
22      could we put in six to seven hours worth of energy  
23      into that system.

24             The other type of storage is the lithium  
25      ion batteries, the high-speed flywheels, the NAS

1       batteries, flow-based batteries. Those are the  
2       basic ones. And now those are much shorter term.  
3       They can store energy for maybe 15 minutes,  
4       sometimes 30 minutes, sometimes a couple of hours.

5               And they also have a unique  
6       characteristic which they fast ramp. I mean they  
7       basically go from min to max in one second. And  
8       so, again when I talked to our Vice President, Jim  
9       Detmers, and I say we really need some of these.  
10      But, he says, but I, you know, I'm used to having  
11      things that I can schedule and move. And I say it  
12      looks to me like, you know, you're used to  
13      semitrailer trucks and pickup trucks, you know,  
14      and you can carry a lot of load here and there and  
15      so forth and deliver things.

16             But maybe with the volatility and the --  
17      what you call it, the changes that we're going to  
18      see out of the wind generation, we need to have  
19      some sports cars that will accelerate quickly and  
20      make some fast turns. And we don't need a lot of  
21      them, but a few sports cars would be very useful.

22             So, what we have today is actually  
23      commercial products that are coming to market in  
24      the story side, and so the technology is coming.  
25      We don't have a market structure that fits that.

1 Our market structure is today based upon moving a  
2 thermal generator or hydro plant up and down to  
3 follow a regulation signal. And we're expecting  
4 to have enough energy to be there for a couple  
5 hours.

6 Well, if you're a flywheel, you're going  
7 to be tapped out in 15 to 20 minutes. Yet, it  
8 could really provide some real good services. So  
9 how do we provide a market structure and some  
10 changes in tariffs so that this type of thing  
11 could come on and have several hundred megawatts  
12 of it that would give us that kind of regulation  
13 flexibility that we're going to need for the  
14 future. So again, that goes into now the kinds of  
15 tariff changes, market products and so forth.

16 Now, you all say this may sound pie-in-  
17 the-sky. This is a kind of want-to-be and so  
18 forth. We actually have the first 2 megawatt  
19 lithium ion battery system already proposed. It's  
20 being shipped this month. And it should be  
21 interconnected to our system by late September.

22 So we are out of the gates already. This is  
23 really coming and it's real things. So, it can be  
24 done.

25 Other markets and products and things

1       need to be looked at, and how to make this all  
2       work better. And finally, of course, the last  
3       piece, compliments to Dennis, who's in our --  
4       Dennis Peters, who's here from the ISO, also, who  
5       made the big effort to carry on the generator  
6       interconnection queue reform process. And ways  
7       that we can study things in clusters now, and  
8       really change the way that we can look at and do  
9       the overall transmission planning process.

10               So we are making changes. We are going  
11       down the path. And have actual plans, doing  
12       things to actually make this happen.

13               This is just my slide from this morning  
14       about issues about the first four questions. And  
15       this is the type of resource mix that we were  
16       looking at with the IEP study. As you can see,  
17       there's pretty good diversity of different types  
18       of generation. And, of course, when we're looking  
19       at the 33 percent, we're really, as Dora  
20       mentioned, we're out at the 12,000, in this case  
21       we had 828, megawatts of wind generation.

22               And geothermal, which is the other one  
23       we're looking for, coming on in the Imperial  
24       Valley area in southern California, is another  
25       major resource. That one has some interesting

1 characteristics as we build it out. It does not  
2 operate the same as the Geysers for Geyserville.  
3 Apparently has much more variability. Again,  
4 there's more to be studied and learned. What are  
5 the models for all these different types, and most  
6 of those.

7               So, we've got some interesting plants.  
8 The question is whatever numbers you put together  
9 and publish, that's never the way the system would  
10 be perfectly built, right. So there's no -- all  
11 you can do is put together scenarios; your best  
12 guesses. You look at generator queues. And you  
13 make your guesses as to what you think the  
14 resource mix is going to look like.

15              So, anyway, these were the questions  
16 from this morning. Operational impacts. Really  
17 the whole issue then is how to put together the  
18 right kinds of scenarios. And then looking at  
19 what the impact is on once-through cooling and  
20 other initiatives as to what thermal generation is  
21 going to be left as we look out through 2015 to  
22 2020.

23              One thing to think about, and this is  
24 probably part of the panel discussion, but let me  
25 throw it out now. Is that as we use the gas



1 supply system, the gas-fired generation, and the  
2 wind generation and solar is going to actually  
3 displace some of this gas-fired generation, it's  
4 really going to ramp down the need for as much gas  
5 coming in.

6           However, if you have a stormfront goes  
7 through and you really have ramped up all of that  
8 wind generation, and then all of a sudden it's  
9 gone, we're going to have to fire off 3000  
10 megawatts of CTs.

11           And so you say, well, gee, that's  
12 interesting. I hope the gas supply guys are there  
13 to handle that. So, when you start thinking about  
14 the whole thing about the whole gas supply  
15 business, we're going to really export part of the  
16 variability on the electric system over into the  
17 gas transmission system.

18           So the gas transmission is going to be  
19 jerked around. It's going to go up and down in  
20 terms of the gas supply. And we haven't yet begun  
21 to think about how we're going to communicate  
22 those changes over into the gas pipeline  
23 companies.

24           And they will see quite interesting  
25 changes, I suspect, as we look at some of these

1 scenarios. And then the question then becomes  
2 okay, not only do we need some electric storage,  
3 but perhaps we need some gas storage in California  
4 to deal with that kind of variability.

5 So if we're going to suddenly fire off  
6 3000 to 4000 megawatts of gas-fired generation to  
7 make up for some wind or some renewable resources  
8 that have tripped off or gone off, we've got some  
9 interesting issues to deal with in that area.

10 And environmental impacts. But, anyway,  
11 the final thing to think about is as we look at  
12 the future we need to work with the CPUC and the  
13 utilities to really put out more information about  
14 how much we're going to need in terms of quick  
15 start units, fast ramping capability, lower  
16 operating ranges to where we need to get to. What  
17 regulation is going to show up. How much energy  
18 shifting do we need to do.

19 And there are several proposals now for  
20 new pump storage plants that are being discussed,  
21 including potentially one in Mexico. Should we  
22 reinforce transmission in Mexico to take advantage  
23 of that? And is that where some of the liquified  
24 natural gas is going to show up?

25 So, we've got some interesting things to

1 start thinking about, how we do those over a  
2 period of time.

3 And, of course, the major thing, not  
4 only storage and the integration of some storage  
5 technology, but how do we handle the demand  
6 response programs, the demand side programs. We  
7 have customers who say, gee, if I knew the signal  
8 that wind was ramping up I would shut down some of  
9 my local generation and/or modify my load.

10 So we've got a lot of things to think  
11 about. And, again, I think this goes back to the  
12 whole smart grid thing, how do we communicate this  
13 to everybody and give them the right information  
14 to make this work correctly.

15 The other thing is it can be done. Our  
16 goal is to make it work and to help implement  
17 state policies on where we're going with  
18 renewables. It's the right thing to do for  
19 climate change and everything else. And we're  
20 here to make it work.

21 MS. DOUGHMAN: Okay. Thanks to all our  
22 presenters on topic number 5. Now we're going to  
23 move on to topic number 6. Do we have Mark  
24 Bolinger on the phone? Okay.

25 MR. BOLINGER: Yes, I'm here.

1 MS. DOUGHMAN: Okay. I'm going to walk  
2 through this presentation prepared by Mark  
3 Bolinger and Ryan Wiser. And then if we have any  
4 questions, Mark Bolinger is available to help us  
5 out.

6 So, this presentation discusses  
7 suppressing natural gas prices, an ancillary  
8 benefit of renewable generation.

9 The first slide points out that natural  
10 gas prices are high and volatile. And we see here  
11 the historical trend in prices from 1990 through  
12 today. And then the NYMEX natural gas future  
13 strip actually from July 11, 2008, into 2020 and  
14 beyond.

15 Natural gas price forecast accuracy has  
16 been wanting, and this slide compares the actual  
17 wellhead price to various historical AEO wellhead  
18 gas price forecasts over time. So we see what the  
19 anticipated movement in natural gas prices was  
20 back in 85, 86, all the way up through we have a  
21 forecast for 2008 in blue

22 There are some initial implications  
23 discussed on this slide. Natural gas price  
24 forecasts should be current and reflect up-to-date  
25 gas price expectations. History shows us that

1 basecase gas price forecasts have a good chance of  
2 being wrong by a factor of two.

3 Little emphasis should be placed on the  
4 basecase. Instead, a sizeable range of future  
5 natural gas prices should be used in an economic  
6 analysis of alternative resource options.

7 The value of hedging natural gas risk  
8 exposure and of reducing natural gas prices should  
9 be evaluated.

10 Renewable energy can help in both of  
11 these latter respects. Renewables provide a hedge  
12 against volatile and escalating natural gas prices  
13 in two ways. Renewable energy reduces exposure to  
14 gas price risk, because incremental renewable  
15 generation displaces gas-fired generation.  
16 Renewable generation is often fixed price, and  
17 gas-fired generation is often variable priced.

18 Second, renewable energy reduces natural  
19 gas prices. And this occurs because by displacing  
20 gas-fired generation incremental renewable energy  
21 reduces demand for natural gas. And consequently,  
22 it puts downward pressure on gas prices.

23 This presentation only covers the hedge  
24 benefit pointed out here, as related to the  
25 displacement of gas-fired generation. This

1 benefit is not unique to renewable energy but  
2 comes from any generation source or demand savings  
3 that reduces natural gas demand.

4 Hedge benefit number two. Renewables  
5 reduce gas prices. And this is just a brief, sort  
6 of theoretical, perspective of how this would  
7 work. This comes from economics.

8 Increased renewable energy penetration  
9 displaces gas-fired generation, reducing demand  
10 for natural gas and placing downward pressure on  
11 natural gas prices.

12 The price reduction flows through to all  
13 consumers in the form of lower natural gas and  
14 electricity bills. The magnitude of price  
15 reduction depends on the shape of the gas supply  
16 curve. This is the big uncertainty, as to exactly  
17 where we are on the gas supply curve. Are we on  
18 the steep part, or are we on the part that's more  
19 horizontal.

20 The impact is expected to be larger in  
21 the short term than in the long term due to short-  
22 term supply constraints and longer term price  
23 supply adjustments. Price reduction may be  
24 greater in near term in regions with natural gas  
25 transportation constraints.

1                   And this relates to the point that Dave  
2                   Hawkins was making about the need to have gas  
3                   supply to be able to ramp up a large amount of gas  
4                   in a very short period of time.

5                   What does this price reduction  
6                   represent? A price reduction may not strictly  
7                   lead to a net gain in social welfare. Lower  
8                   prices may benefit gas consumers at the expense of  
9                   producers. However, energy programs are  
10                  frequently evaluated based on consumer bill  
11                  impacts. The economy-wide macroeconomic costs  
12                  from gas price increases may be significant.

13                  California consumes gas, but produces  
14                  little gas. So there may be a net gain to  
15                  California.

16                  So that's the end of the theory. Now  
17                  let's see what the modeling showed. Review of  
18                  recent modeling studies.

19                  Many modeling studies have, at least  
20                  indirectly, evaluated the impact of increased  
21                  renewable energy and energy efficiency deployment  
22                  on natural gas prices.

23                  Mark Bolinger and Ryan Wiser have  
24                  analyzed results from 13 studies, including six  
25                  EIA studies of the impact of a national RPS, two

1 of which modeled multiple RPS scenarios. And six  
2 UCS studies of the impact of a national RPS.  
3 Three of these studies modeled multiple RPS  
4 scenarios, and one includes aggressive energy  
5 efficiency, as well. They also included one  
6 Tellus study of the impact of a New England RPS  
7 with the focus being on Rhode Island.

8 All 13 of these studies used EIA's  
9 national energy modeling system. And the report  
10 prepared by Mark Bolinger and Ryan Wiser focuses  
11 on national impacts.

12 And this shows that as the amount of  
13 renewable generation is increased throughout the  
14 country, the amount -- there is a displacement of  
15 natural gas.

16 This slide shows the change in average  
17 wellhead price in 2000 dollars per MMBtu in  
18 relation to an increase in renewable generation.  
19 This slide shows that national gas bill reductions  
20 substantially offset any increase in electricity  
21 bills. The NPV of RPS impacts on natural gas and  
22 electricity bills varies according to the studies.  
23 But generally has a net impact on the combined  
24 electricity and natural gas bill that reduces the  
25 cost to the consumer.



1           Expressed as dollars per megawatt hour  
2       of incremental renewable energy, the national gas  
3       bill savings are substantial. The range is \$7 to  
4       \$20 per megawatt hour. At least this range  
5       captures most of the studies. Some studies showed  
6       a larger savings.

7           So, there is an implied inverse  
8       elasticity of supply which is defined as the  
9       percent change in price over the percent change in  
10      quantity. This measures the shape of a long-term  
11      supply curve.

12           The central tendency of 0.8 to 2.0  
13      suggests that a 1 percent drop in nationwide gas  
14      demand causes a 0.8 percent to 2.0 percent drop in  
15      average wellhead prices over the long term.

16           There are other measures of inverse  
17      elasticity. And this graph shows a range from  
18      about 0.8 up to above 2.0 as the average implied  
19      inverse elasticity. It's not limited to the RPS  
20      studies, the use of this concept of inverse  
21      elasticity.

22           NEMS results are consistent with or even  
23      conservative relative to other models. Stanford's  
24      energy modeling forum results are shown here.  
25      Most models used in the energy modeling forum

1 exhibit a national U.S. inverse elasticities that  
2 are consistent with those in NEMS.

3 More recently, the four models, besides  
4 NEMS, used in the energy modeling forum 23, the  
5 more recent study, exhibit inverse elasticities  
6 that are consistent with those in NEMS, as well.

7 There are additional studies here. And  
8 I'd like to emphasize the second bullet here.  
9 This is the scenarios analysis project. And Mark  
10 Bolinger and Ryan Wiser calculated that that  
11 project used, using a model from Global Energy  
12 Decisions, found long-term inverse elasticity of  
13 5, which is larger than some of the other studies.

14 Achieving a 33 percent renewable energy  
15 target. What Mark Bolinger and Ryan Wiser did is  
16 they took the range of inverse elasticity and they  
17 applied it to California. This is some of the  
18 work they did in support of the Center for  
19 Resource Studies report prepared for the CPUC in  
20 2005.

21 So this goes through some of the methods  
22 that they used. There was an assumption that each  
23 megawatt hour of new renewable generation offsets  
24 0.75 megawatt hours of gas-fired generation at an  
25 average heat rate of 7500 Btu per kilowatt hour.

1 And there was an assumption that the California  
2 gas price reductions will be temporarily amplified  
3 relative to the national price reduction on a  
4 ratio of 3-to-1, declining to a ratio of 1-to-1 by  
5 2020.

6 They used a projection of California  
7 natural gas demand and delivered gas prices for  
8 California electric generators from the 2005 IEPR.  
9 It was a projection of the incremental renewable  
10 generation above 20 percent to achieve 33 percent,  
11 and no incremental renewable energy after 2020.

12 So this shows the amount of energy used  
13 in their analysis, ramping, adding beyond the 20  
14 percent by 2010 each year to get to 33 percent by  
15 2020.

16 This shows the natural gas demand  
17 reduction in California under the 33 percent by  
18 2020 scenario relative to 20 percent by 2010. It  
19 shows a percent change in California gas demand of  
20 about 8 percent in 2030.

21 The incremental California price  
22 suppression from 20 percent by 2010 to 33 percent  
23 by 2020 is shown on this slide. And as I  
24 mentioned earlier, it's not clear where we are on  
25 the gas supply curve. If we're at a place where

1       it's steeper in terms of the amount of gas we get,  
2       with the increase in price, or it's more at the  
3       horizontal.

4               So this shows the impact using three  
5       different inverse elasticity estimates that were  
6       suggested in the earlier study of nationwide  
7       impacts.

8               So the resulting impacts from 33 percent  
9       compared to 20 percent renewable energy show  
10      natural gas bill savings for California. And this  
11      shows the savings from 2011 to 2020, and 2021 to  
12      2030. Net present value in 2011 of gas bill  
13      savings on the order of a billion dollars.  
14      Depending on the inverse elasticity.

15              Open questions and areas for further  
16      study. We need to more comprehensively evaluate  
17      historical and empirical inverse elasticities of  
18      gas supply to help benchmark model results. Need  
19      a deeper understanding of the degree to which gas  
20      price reduction is a social benefit rather than a  
21      transfer payment from producers to consumers.

22              And we need to better evaluate regional  
23      price impacts of regional reduction in gas demand  
24      with more finely tuned gas models. And better  
25      understand physical changes to natural gas supply

1 delivery and storage system to respond to 33  
2 percent renewable energy.

3 Possibly reduced demand for and economic  
4 competitiveness of liquified natural gas.  
5 Possibly reduce need for new natural gas transport  
6 capability to California. Possibly increased need  
7 for gas storage and increased cycling of that  
8 storage to integrate variable and uncertain  
9 renewable energy sources, as was mentioned by Dave  
10 Hawkins.

11 And here we have a partial bibliography  
12 of some of the sources used in this study.

13 Before I go on why don't I pause here to  
14 see if there are any questions from Mark Bolinger  
15 or if Mark wanted to add anything. I don't see  
16 any questions. Mark, did you want to add  
17 anything?

18 MR. BOLINGER: No, I don't think so,  
19 thank you, Pam.

20 MS. DOUGHMAN: Okay. So, the last topic  
21 before we go on to our panel discussion, is a  
22 brief overview of the environmental concerns and  
23 mitigation.

24 There have been a number of reports and  
25 activities prepared to address some of the

1 environmental concerns related to different  
2 resources, different renewable resources.

3 In November 2006 a roadmap for the  
4 development of biomass in California was prepared  
5 through a PIER collaborative effort. In October  
6 2007 the Energy Commission published California  
7 Guidelines for Reducing Impacts to Birds and Bats  
8 from Wind Energy Development.

9 Also, there is a memorandum of  
10 understanding between the U.S. Department of the  
11 Interior, the Bureau of Land Management,  
12 California Desert District, and the California  
13 Energy Commission Staff concerning joint  
14 environmental review for solar-thermal power plant  
15 projects. And the Energy Commission has a  
16 proceeding that's just getting started addressing  
17 that issue.

18 Also the Geothermal Energy Association  
19 has prepared a Guide to Geothermal Energy and the  
20 Environment. And there is an earlier annotated  
21 bibliography that came out in 2004 that was put  
22 together by the U.S. Department of Energy  
23 discussing geothermal literature regarding  
24 environmental issues.

25 Okay, so now we're moving to our second

1 panel of the day, and to get us going we are going  
2 to have a summary of the scenario analysis for the  
3 electricity sector, discussing response to  
4 questions for topics 5 through 7.

5 DR. JASKE: So, having explained what  
6 resource adequacy is all about and how it might  
7 apply at a sort of conceptual level to renewables,  
8 what did the scenario project, itself, accomplish  
9 in this regard? So, out of the many subsidiary  
10 questions the overall question 5, that's what I'll  
11 try to explain here.

12 So, just to remind you, we're supposed  
13 to be addressing, in the California context, all  
14 the months. So the first sort of limitation that  
15 we encountered is that we were only really able to  
16 address the peak month for each control area.

17 We were focusing on that peak month. We  
18 were looking for the nameplate and/or the derated  
19 capacity, what technology was in question. So we  
20 were tackling that specific element of resource  
21 adequacy. But because on a westwide basis we only  
22 had one year of wind data, this NREL dataset  
23 that's been floating around since about 2002, we  
24 were not able to do a three-year rolling average,  
25 but rather only an average across a single year.

1       So another limitation.

2               As I explained before, we were using a  
3       production cost model with sort of transmission  
4       bubble level of geographic disaggregation, so all  
5       of the minutiae of local resource adequacy, you  
6       know, would have to be -- had to be sacrificed.

7               So, for example, in the 10 LCR load  
8       pocket presentation or construct for California,  
9       and who actually knows what local resource  
10      adequacy is in other parts of WECC, we were not  
11      able to identify those vesticular regions. For  
12      example, Ventura Big Creek; that was all lumped  
13      together into a Southern California Edison bubble.

14              But, nonetheless, with those limitations  
15      we generally were backing out, you know, any  
16      generic additions as we added the preferred  
17      resources. We did a resource adequacy check to  
18      see whether we were meeting the single annual peak  
19      load times the 1.15 to deal with the planning  
20      margin. And then where we were short we added  
21      combustion turbines.

22              So, you know, in sort of a simplified  
23      fashion trying to follow the California resource  
24      adequacy construct throughout the entire western  
25      interconnection.



1                   So, one element of that step, of course,  
2           is understanding the derate factor for the  
3           renewable technologies, so this gives you a sense  
4           of what those are. Wind being derated the most,  
5           and California wind being derated moreso than the  
6           rest of the west. Not too different on the low  
7           side, but there's quite a bit of what one might  
8           call better wind out there in other parts of the  
9           west that flows quite continuously.

10                   Central solar has a derate, but not  
11           nearly as large. And actually, because California  
12           is one of the better locations, it probably has a  
13           better overall factor than other places in the  
14           west.

15                   And rooftop PV also has a significant  
16           derate because we're talking about, you know,  
17           peaks at 4:00 in the afternoon, which is well past  
18           the peak performance of residential and commercial  
19           rooftop, which almost or very infrequently have  
20           any kind of a proper tilting mechanism. And so  
21           they're all generally were portrayed as fixed  
22           systems. So those two phenomenon lead to a pretty  
23           significant derate for PV.

24                   So, here's how the numbers actually  
25           worked out in the case of 4a. Showing three

1 technologies that suffer this derate that I was  
2 just explaining, and then demand response in steam  
3 turbines will be part of the solution.

4 So in the nameplate capacity column,  
5 you'll see what those resources were in case 4a.  
6 Next column over to the right is their derated  
7 capacity by applying those general factors, as I  
8 explained. And the bottom of that column you can  
9 sort of see how 8500 compares to 19,600, far  
10 short.

11 The next column over is the implied  
12 deficit in capacity, simply the subtraction  
13 between the previous two columns. So there's  
14 about 11,000 megawatts of capacity deficit  
15 reflected by this NQC approach.

16 So, how did we solve that? Well, it  
17 turns out that we have the old steam turbines that  
18 are generating very little energy, but are still  
19 there for capacity. And we have somewhere around  
20 a third of the old capacity still left in year  
21 2020. And I guess I don't say anywhere on this  
22 slide that this is for year 2020.

23 And then we have a bunch of demand  
24 response, which also is a capacity resource. And  
25 so in July of 2020 the way the analysis went, it

1       just so happens that we have just about the right  
2       amount of peaking resources to offset the capacity  
3       deficit. And this is a relatively big capacity  
4       deficit, because there's a very strong emphasis on  
5       wind. If we had had, you know, less wind and more  
6       central, then we wouldn't have had as big an  
7       issue. And Dave explained that well.

8               So, even though we're not -- well, not  
9       even though -- we're not fully implementing all of  
10      the resource adequacy requirements. We're  
11      focusing on July. And an important phenomenon  
12      there is that the DR solution, you know, is  
13      relevant in the summer months. Its capability may  
14      differ somewhat from one summer month to another  
15      summer month, but they're more similar than those  
16      summer months are to all the other months of the  
17      year. So the DR option that showed how wind  
18      deficit largely wind deficits could be overcome is  
19      not going to work in other months.

20             And if you remember my earlier  
21      presentation about how wind NQC rolls off, there's  
22      actually a bigger wind deficit in the late fall  
23      and winter months. As I said before, we weren't  
24      examining the local resource adequacy part at all,  
25      and so this is only looking at sort of from a

1 system perspective.

2 As I mentioned before, all of this is  
3 part of what the PUC is going to be looking at, or  
4 in phase two of the current resource adequacy  
5 proceeding. And a facet that may also evolve over  
6 the next year or two is if the PUC -- well,  
7 depending on how the PUC, let's put it that way,  
8 moves forward in resolving the central capacity  
9 market element of resource adequacy, or whether it  
10 relies on a bilateral market formulation, there's  
11 general consensus that the time horizon of  
12 resource adequacy analysis and possibly resource  
13 adequacy commitment, moving that forward, moving  
14 that out there from one year ahead to four years  
15 ahead, five years ahead, six years ahead,  
16 something of that sort.

17 And so there will be much more emphasis  
18 on the issues likely we're tackling in this  
19 project without a whole lot of guidance, how to  
20 make these projections that far forward. Because  
21 you introduce much more uncertainty as you do  
22 that. And what is the mix of renewable resources;  
23 where will they be located; can the transmission  
24 system, itself, evolve in some manner to  
25 ameliorate some of the local requirements. Those

1 are topics that if we have a four-, five-, six-  
2 year-ahead forward time horizon would become much  
3 more important.

4 Okay, shift gears completely into the  
5 natural gas area. Mark Bolinger's slides that Pam  
6 went through, talk about the gas impacts of  
7 renewables. And that was a topic addressed quite  
8 explicitly in the scenarios project. In fact, it  
9 was addressed because the PUC had funded CRS to do  
10 a study.

11 Since we knew we were examining high  
12 penetrations of the preferred resources, we  
13 deliberately set about to do a gas price impact  
14 analysis. It wasn't just a fallout from the  
15 scenario project, per se. It was done expressly  
16 to try to look at this phenomenon.

17 So, as was mentioned, we were using  
18 Global Energy production cost model, and their  
19 consulting team, to do much of the analytic work  
20 on this project. They have a separate unit that  
21 does long-run gas analysis. And so we hired them  
22 for this project.

23 We chose to look at case 5b, which is  
24 more than just California. This would be the  
25 combination case across the whole west of both

1 energy efficiency and renewables and rooftop. So  
2 this is the case that's going to have the largest  
3 likely reduction in power plant natural gas usage,  
4 and therefore the one that would lead to the  
5 largest natural gas price reduction, to the extent  
6 there is one.

7 Now, in the analysis that we funded  
8 Global to do, we were not looking outside of the  
9 WECC footprint. So we did this analysis of the  
10 westwide western interconnection level, assumed  
11 everything else for the country, for the North  
12 American gas market was the same.

13 This is a portrayal of the WECC-wide  
14 natural gas usage in the various cases. The  
15 orange one at the top is the case 1, and then the  
16 next one down is case 1b that we tend to think of  
17 as the reference case, because it's the  
18 approximate implementation of 20 percent RPS and  
19 efficiency programs, you know, sort of as mandated  
20 circa 2006.

21 The other three lines are the various  
22 preferred resource scenarios. And I'm showing  
23 these intermediate ones that are case 3b and case  
24 4b because they were used in the sort of step-by-  
25 step analysis that Global Energy did.

1                   And at the very bottom with the  
2           triangles is the case 5b, which has, on a westwide  
3           basis, both efficiency and renewables. And so, as  
4           expected, it's the lowest projection. It actually  
5           has a reduction in gas usage for power generation  
6           over time. And so the analysis, from the normal  
7           scenario project, quantified this, and this became  
8           the input into the Global team.

9                   I guess I said all these things. So,  
10          what was the outcome. We found, as Mark  
11          Bolinger's slides show, a fairly substantial  
12          impact in this analysis. We actually became  
13          concerned that the impact was so large. And so  
14          the staff contracted with Altos, who's the  
15          provider of the NARG model that Energy Commission  
16          Staff have used for many years to do gas planning,  
17          to do an independent estimate.

18                 And I'm going to show the slides from  
19          the August 16, 2007 workshop to sort of contrast  
20          the two different outcomes that they got. And  
21          then try to say a little bit about what we  
22          understand is the reason for the difference.

23                 So, here's just a few slides prepared by  
24          Ann Donnelly and other folks with the Global  
25          Energy Decisions gas unit, now the Vintex gas

1 unit.

2 What we're looking at here in this slide  
3 is a set of price projections from 2009 to 2020.  
4 These are Henry Hub, so that's sort of intended to  
5 be the focal point of gas price projections for  
6 the whole North American continent.

7 The ones to pay attention to are the  
8 ones down near the bottom. There is also, up at  
9 the very top of this chart, a scarcity pricing  
10 projection, but it's there to sort of give  
11 reference, in the case of this workshop  
12 presentation from last year, how all these others  
13 compare.

14 The real focal point is the next line  
15 down, which on the screen and on tv is blue. And  
16 then there's a series of three other lines  
17 clustered much closer together that are orange and  
18 green. Those are the ones that would be the  
19 difference between these that we pay attention to.

20 So this slide takes away some of that  
21 other clutter and I can explain sort of the step-  
22 by-step results.

23 The top line is the original starting  
24 point projection for the case 5b. As one feeds  
25 back the gas for power generation consequences of



1 the case 5b back into the gas price projection  
2 modeling, they did it step-by-step, so they did  
3 the 3b step first. And so there is a red line,  
4 for those who are able to see color.

5 Then, as one goes to the 5b case, here  
6 in the label called 5b LDF, that means that they  
7 moved from the 3b case to the 5b case. So they  
8 added the renewables. So the renewable  
9 consequence on a statewide basis, on a westwide  
10 basis, is to go from the red line with squares to  
11 the orange line with triangles.

12 Now, that's not the end of the story,  
13 because that price reduction would have assumed  
14 that there were no physical or no long-term  
15 responses from gas producers. And all of that  
16 reduction from the red squares to the orange  
17 triangles is effectively the short-term response  
18 of producers, having less gas demand, therefore a  
19 lower market clearing price.

20 When you take into account that  
21 producers have long-run capital investments, they  
22 have wells that are being depleted with more  
23 drilling and other things that they wouldn't do to  
24 the same extent if they now knew that we were in a  
25 scenario where there was going to be less gas

1 demand over time, they wouldn't do all of that  
2 expenditure in the first place.

3 And so, in effect, the gray line that  
4 has little cross-hatches on it, is the final  
5 result that Global Energy people came up with.

6 And so comparing the blue line at the  
7 top and the gray line, which is actually the  
8 second one down, although the last in the sequence  
9 of analysis, you get somewhere in the range of 50  
10 cents to \$1 per million Btu as the consequence.  
11 And as Mark Bolinger's presentation indicated,  
12 that's a pretty high number.

13 So, having seen these results, we, as I  
14 said, the Energy Commission Staff contracted with  
15 Altos to run their version of NARG within the  
16 suite of models that Altos runs. And which is  
17 broader than the suite of models that the staff  
18 licenses, so we had to have Altos do it as opposed  
19 to Commission Staff.

20 And here are their results. Again,  
21 Henry Hub, again, going out, in this case, only to  
22 2018 with the particular dataset they have.  
23 There's a little two-years difference, but the  
24 message is the same.

25 And you can see pairs of columns for

1 each year, the preliminary and the alternative  
2 case 5b. So, instead of having two sets of lines,  
3 they have pairs of bars.

4 And you can also see a different  
5 phenomenon here. There's some kind of cycling  
6 going on. 2009 is up; 2010 is down; 2011 is back  
7 up more; 2012 is back down. And it's rippling  
8 sort of every other year.

9 As I understand it, that's a function of  
10 how Altos is introducing new resources into the  
11 system, particularly lumpy ones like LNG. And  
12 they're getting sort of market clearing prices  
13 that change actually quite a bit, on the order of  
14 10 percent, from one year to the next. But if you  
15 sort of drew a line, you know, through the middle  
16 of all that, you'd have a relatively smooth upward  
17 trajectory.

18 What they found when comparing the blue  
19 and red columns, or namely the original basecase  
20 and the red, which is the case 5b, is much more in  
21 the range of 10 cent to 25 cent per million Btu.  
22 So that's somewhere between a fifth and a quarter  
23 of the size of impact as the Global Energy folks  
24 did.

25 And as I understand the sort of back-

1 and-forth preceding the workshop between the two  
2 teams and the Commission Staff, and at the  
3 workshop, really the result is heavily affected by  
4 the scale of the analysis.

5 As I said before, when we had Global do  
6 their work we didn't change the assumptions about  
7 what was going on in the electricity sector  
8 outside of WECC. And in this particular analysis  
9 neither did Altos.

10 However, the basecase for Altos is not  
11 the same as the basecase for Global. The basecase  
12 for Altos is a future world in which CO2  
13 mitigation is already happening. So there is  
14 already, in their basecase, a significant shift  
15 from coal to natural gas. And so the scale of  
16 natural gas usage in the Altos analysis is  
17 substantially higher on a North American market  
18 basis; therefore prices are trending upward at a  
19 higher rate, although when you compare the two  
20 charts, they're in about the same zone.

21 And then the incremental effect of just  
22 a WECC-wide reduction in power generation gas  
23 demand isn't nearly as large, because the base  
24 power generation demand is so much larger in the  
25 Altos analysis, the proportional effect of the

1 renewable strategy just is less. And therefore  
2 its influence on the market is less.

3 That is the fundamental difference  
4 between the two analyses when you get right down  
5 to it.

6 It reveals, again, the consequence of  
7 the integration of the gas and electricity sectors  
8 together, the sort of convergence phenomenon that  
9 people have talked about. And now the overlay of  
10 global climate change, mitigation strategies and  
11 what that will mean in terms of the rest of North  
12 America pursuing these same strategies. And  
13 teasing out consequences of a region, you know,  
14 becomes very much more difficult.

15 So, the upshot of these competing  
16 analyses was in the 2007 IEPR in recognition of  
17 this phenomenon, but no willingness to endorse any  
18 particular conclusion or results because of the  
19 uncertainty here and how to address sort of yet  
20 larger and larger geographic dimensions that are  
21 important to trying to understand consequences of  
22 California or westwide policies.

23 So, that's how we attempted to deal with  
24 the natural gas impacts in the scenario project.

25 MS. DOUGHMAN: Okay. Why don't we take

1 a 15-minute break, and then come back and finish  
2 up the panel and public comment.

3 So, we'll see you back at 3:20.

4 (Brief recess.)

5 MS. DOUGHMAN: We have two remaining  
6 tasks for the day. The first is to have our  
7 panelists, the remaining panelists, discuss topics  
8 5 through 7. And then we'll have public comments  
9 on topics 5 through 7. And then we have some  
10 general questions, and then we'll adjourn.

11 So, let me take my seat at the table.

12 (Pause.)

13 MS. DOUGHMAN: So why don't we -- Dr.  
14 Jaske, go ahead.

15 DR. JASKE: I have a question -- more a  
16 question than a comment -- on Dave Hawkins'  
17 presentation. And it has to do with this issue of  
18 resources in load pockets versus the present  
19 location of renewables outside of load pockets.

20 So, you know, all those technologies for  
21 storage and other things seem like they're  
22 capable, at least potentially, of overcoming  
23 intermittency and production profiles that sort of  
24 don't match load.

25 But how do we -- do you have any

1 observations about dealing with this physical  
2 location and the whole contingency planning that  
3 the LCR is supposed to be able to overcome?

4 MR. HAWKINS: That's a good question.  
5 The pump storage, of course, is very locationally  
6 dependent. And compressed air storage, again,  
7 will be fairly -- you know, you got to go where  
8 the gas well is, or whatever.

9 But the other type of storage is  
10 basically very modular. You could put it in a  
11 warehouse in San Francisco or Oakland, or down in  
12 Los Angeles or whatever, anyplace that you could  
13 get a interconnection back into the transmission  
14 piece.

15 So you could put it in existing  
16 generating station. In fact, the 2 megawatt unit  
17 that we've got coming on this fall is literally  
18 going to be located at an existing generating  
19 plant.

20 And the advantage is, of course, you've  
21 already got a transmission interconnection, and  
22 you've already got a transformer sitting there.  
23 So now, you know, if potentially you've shut down  
24 a unit at that plant, it's decommissioned, you  
25 basically have spare capacity.

1                   So you could think about dropping in a  
2           20, 30 megawatts worth of storage technology in  
3           these locations, and it's a pretty easy  
4           interconnection thing to do.

5                   So, the advantage of a lot of this  
6           storage is very mobile. And, in fact, you can --  
7           AEP has even proposed putting it into as mobile  
8           units in substations now so that they will  
9           actually move it from substation to substation,  
10          and basically defer upgrades to that transmission  
11          substation or distribution station for a year or  
12          two years or three years. And then move it on to  
13          another location.

14                  So, it has some great advantages from  
15          that perspective. So although at this time it's  
16          still pretty costly, so we're hoping to see the  
17          prices come down. But it does have some  
18          interesting capabilities.

19                  MS. DOUGHMAN: How about if we have each  
20          of the panelists just go through your thoughts on  
21          questions 5 through 7, and then --

22                  MR. HAWKINS: Okay, well, let me make a  
23          first comment, if I could, --

24                  MS. DOUGHMAN: Okay.

25                  MR. HAWKINS: -- back on resource



1       adequacy. And the big issue is from a operator's  
2       perspective, which of course, is the operator on  
3       the floor will always remember that at 4:15 in the  
4       afternoon for 30 seconds the load on the system  
5       was 49,200 megawatts, and the wind that showed up  
6       was only 50 megawatts. And that number will  
7       forever stick in his mind.

8               And you way, but, you know, we have to  
9       look at wind and other resources over a bigger  
10      period of time. And, of course, then, you know,  
11      he says, well, it never shows up and so forth on  
12      peak.

13             So what we've tried to do is to bring a  
14      more balanced picture to the table. And so  
15      instead of just thinking about that number,  
16      basically what we see typically is somewhere  
17      between 5 percent to 10 percent of whatever the  
18      nameplate ratings is on wind or so forth. We see  
19      numbers like that basically going around across  
20      the peak afternoon.

21             So, originally we had proposed what we  
22      called a 3-3-3 plan. And so we were looking at  
23      three years, three years worth of data. And for  
24      each month you would pick out the three days that  
25      were the peak load of that month. And then for

1       those three days you'd pick out the three hours  
2       where the peak actually occurs.

3               And the peak typically occurs not  
4       between noon and 6:00, which it actually does, but  
5       it actually occurs usually between 2:00 and 5:00,  
6       at least in the summer. And it varies a little  
7       bit from area to area.

8               Then, of course, if you're looking at  
9       December, the peak load in December actually  
10      occurs between 5:00 and 7:00 in the evening. And  
11      if you're there in the operating center at about  
12      5:15 when the sun goes down, all the street lights  
13      turn on and all the Christmas tree lights turn on,  
14      you see the load go straight up about 1000  
15      megawatts in about 15 minutes.

16              So, we see some interesting variability  
17      at different times of the year. And so, just  
18      incredible changes.

19              So, then the question comes, okay, what  
20      is reasonable. So, we had proposed that as a way  
21      of trying to say, well, how much wind generation  
22      do you get during those three years, during those  
23      three days, during those three hours.

24              And basically it's, you know, it's an  
25      economic study, too, as well as a reliability

1 study. Because you really don't want to penalize  
2 wind or renewables. You really want to give them  
3 a fair shake and a fair compensation at the table.

4 And so, although the operators love the  
5 3-3-3 plan, it doesn't politically sell. And so  
6 the number is probably a little bit larger. So  
7 we're still in the debates as to what is a  
8 reasonable formula for looking at how much to  
9 account for resource adequacy from those  
10 renewables.

11 And, you know, -- and, again, the  
12 thinking is you really have to look at the  
13 characteristics of how California climate works.  
14 And if you look at a month like July this year,  
15 the weather's been pretty beautiful. We had a few  
16 really hot days, and then the rest of the month  
17 has been quite reasonable.

18 So, the question is, if you pick out the  
19 three days or five days or ten-day period or  
20 whatever, is that more realistic of the way the  
21 weather works and the renewables work, and how the  
22 two pieces come together.

23 So, that's probably a long answer to how  
24 you think about resource adequacy, but it's a  
25 key -- a keen issue, and it's a financial issue,

1 as well as reliability issue. And you really have  
2 to have an answer that's fair to all parties.

3 Impact on natural gas, I think I've  
4 already commented on that. Could demand side  
5 management strategies be effective in reducing the  
6 impact. Absolutely.

7 We are absolutely convinced that there's  
8 tremendous more things to be done to link up with  
9 demand side and thermal storage and other ways, if  
10 we have the right kinds of programs. We would  
11 encourage much more thermal storage.

12 We'd like to see compressor loads for  
13 chillers in large buildings that have variable  
14 capability, variable load capability. Today they  
15 basically are constant. And basically they change  
16 the temperature in the building by turning on the  
17 heaters. And you say, that's not very efficient.

18 And so we actually have customers who  
19 are willing to spend money to retrofit their  
20 buildings, retrofit their campuses. The  
21 university campuses are a good example. They have  
22 lots of low-cost, very bright labor. And they  
23 have professors who are very interested in trying  
24 to make this happen. So we have great examples.

25 Plus the state, itself, is a big

1 landlord. It owns a lot of buildings. So the  
2 state could really take a leadership role in  
3 trying to do this with its own state buildings.

4 So there's a ways that we could send  
5 signals from the ISO that says, here's what the  
6 wind is doing. And would load be interested in  
7 ramping up, ramping down, bidding their changes  
8 into the market. And modifying their output.

9 So, I really am convinced that we could  
10 do a lot more to modify load demand to foot the  
11 variability of some of that.

12 Natural gas, we have not done major  
13 natural gas pricing studies. The only thing that  
14 occurs to me was in a speech that I saw earlier  
15 this year at the National Association of  
16 Regulatory people, and from a chap whose name  
17 escapes me at the moment, who really showed that  
18 the price projections that Washington puts out on  
19 natural gas prices, they've never gotten it right  
20 yet. And so their price things are way under on  
21 your schedule. It was EIA.

22 And so that, you know, the same as we've  
23 had some unexpected escalation of gasoline prices  
24 over the last couple of years, or the last year,  
25 I'm still thinking that natural gas pricing is

1       potentially subject to a similar type volatility.

2               I look at the modeling studies and, you  
3       know, they're extremely detailed and convincing.

4       I just still think there's some wild cards out  
5       there as to what's going to happen with some of  
6       the natural gas price. Demand is certainly going  
7       to go down, but I think we still have some big  
8       variables.

9               And environmental concerns, I guess I go  
10      in the Al Gore Camp. I think renewables are  
11      extremely important to do; it's the right thing to  
12      do for the environment. So, I'm onboard.

13              MS. DOUGHMAN: Okay. Dora, do you want  
14      to go next, or --

15              DR. NAKAFUJI: Okay. Well, I think just  
16      based on the assessments that have been done so  
17      far, regarding operational changes, this is a  
18      transformation stage, as we mentioned before,  
19      adopting these new technologies.

20              And I think there is, the more I'm  
21      talking with the industries and working with them  
22      and looking at this resilient transformation, you  
23      see the struggle in two different camps.

24              One is the transmission side that does  
25      long-term transmission planning, that deals with

1 the resource adequacy. Then you've got the  
2 operational side that has to deal with the  
3 dispatch.

4 The requirements are driven from two  
5 different sides, too. Resource adequacy is a CPUC  
6 requirement for servicing load, making sure that  
7 we all have electricity in those much-needed hours  
8 of peak.

9 But on the operating reserve side, that  
10 7 percent is really to make sure that we have  
11 reliability across the grid, because we're all  
12 interconnected to the rest of WECC.

13 So those things are sometimes not  
14 necessarily connected, especially when we're doing  
15 planning on these resources. The dispatch side  
16 doesn't necessarily see that same type of planning  
17 approach. And so when they dispatch they follow a  
18 very different approach.

19 And so trying to bring those to earlier,  
20 to the table for discussion, I think, helps in  
21 understanding how to plan forward in terms of  
22 addressing these renewable issues.

23 Seasonality is a big thing. You know,  
24 we don't take an average of the year. We have to  
25 look at the seasonal trends for these resources,

1       especially for wind.

2               We've also found on solar, and I didn't  
3       mention it, but in the IEP there was a study on  
4       the solar resources, looking at their ability.  
5       Because we anticipated PV coming online, 3000  
6       megawatts additional CSP that may or may not have  
7       firming, natural gas firming that we have right  
8       now with the SEGS facilities.

9               But the variations that solar  
10       forecasting really needs additional research work  
11       as far as monitoring the sites that are actually  
12       generating, similar to what wind -- what we're  
13       doing requiring from the wind resources are too.  
14       To couple that information into some of these  
15       planning models.

16              An approach was suggested in the IEP  
17       using California Public Utilities self-generation  
18       program data. It's actually one of the most  
19       complete data that we have, and we're very  
20       fortunate to have that information available to  
21       use for the state.

22              As far as characteristics, that's  
23       another operational issue. I think the  
24       characteristics are very important, that if we  
25       start putting too much dollar amounts to these



1 things, because, as everybody mentioned,  
2 forecasting the cost is relative. I mean it'll  
3 change when these price signals change.

4 The characteristics of the system don't  
5 move as quickly. You have to change the  
6 infrastructure to a certain degree in order to see  
7 these characteristics change. So, using that as a  
8 metrics, to then, you know, take that number and  
9 have the various utility service areas with the  
10 regional areas, put a number to it based on their  
11 portfolio, might facilitate some of this  
12 transformation needs.

13 I think demand side management  
14 strategies, yes, those things are essential as  
15 part of the portfolio. Because the distribution  
16 side is as much connected to the transmission  
17 side, so they have to be hand-in-hand and be  
18 coordinated.

19 But the distributed generation  
20 strategies and the technologies, I think, also  
21 have to be very well coordinated with the  
22 utilities. As Dave mentioned, the control aspect  
23 is very important because if you're taking away  
24 customer load, you're really not helping, you  
25 know.

1           As far as potential impacts on natural  
2       gas, this backing up with natural gas, it's kind  
3       of a shuffling game, again. You know, you're  
4       replacing wind with natural gas, and in the long  
5       run are we really making that much of an impact on  
6       our environmental goals.

7           The environmental concerns for large-  
8       scale renewable facilities, this question about  
9       should additional environmental criteria be added  
10      to the portfolio standard eligibility, that, I  
11      think, is going to raise a lot of questions.

12           Considering we're trying to refine the  
13      process and we've got so many different  
14      jurisdictions already with different guidelines,  
15      different approaches, different perspectives. And  
16      I'm not certain if another requirement is really  
17      going to help the jurisdictions with their  
18      uncertainty or their lack of data in terms of  
19      monitoring for some of these species in the large  
20      expansion areas.

21           So the decision data, however, is  
22      necessary. So research that can help them make  
23      those decisions might be more beneficial to these  
24      jurisdictions.

25           And then, so permitting and siting, I

1 think, trying to simplify that is still -- it  
2 addresses some of the issues that we mentioned  
3 earlier.

4 As far as what other studies are  
5 underway, I think some of this will be discussed  
6 on the 23rd on transmission studies. But there  
7 are a lot of regional studies that are being  
8 pursued by -- supported through the Department of  
9 Energy; National Renewable Energy Lab is  
10 supporting the west and also the east in various  
11 laboratories. They're also supporting that in  
12 terms of validating the data, coming up with  
13 basecase renewable datasets.

14 And then there's also a regional  
15 integration of renewables project here funded  
16 through the Commission. That's kind of an  
17 extension of the intermittency analysis project  
18 looking at northern California, least --  
19 transmission development. And that is also a  
20 utility's planning perspective where they've come  
21 together as a group to kind of develop some basis  
22 for looking at long-term planning strategies and  
23 some common transmission that's necessary to build  
24 out portfolios of generation, whether it be  
25 renewables or other critical support

1 infrastructure in order to bring in exports. And  
2 also, as well as to accommodate renewables.

3 So, I think there are many of these, and  
4 there's also the Western Governors study that's  
5 currently underway. So there's a lot of data  
6 that's going to be forthcoming. And there's a  
7 good amount of information here in California to  
8 continue to support those efforts.

9 MS. DOUGHMAN: Okay, Snuller.

10 MR. PRICE: Thank you. I'd like to  
11 provide maybe a slightly different perspective.  
12 We've talked a lot about reliability and how to  
13 work on and evaluate keeping our system reliable  
14 under a 33 percent RPS. I think that's super-  
15 important.

16 And as we continue, or we ramp up to  
17 work on and support the CPUC 33 percent staff  
18 analysis for RPS, we're going to want to  
19 incorporate all of that sort of information and  
20 work on the reliability pieces.

21 But there's also some other challenges  
22 that we're thinking about in terms of planning and  
23 how does the 33 percent study that we're  
24 supporting going to look at it.

25 And the first sort of words that come to

1 mind to sort of characterize it overall is it's  
2 really a paradigm change. It's really a big shift  
3 from the long-term planning processes and resource  
4 planning processes that we've done in the past.

5 What we've done in the past is to  
6 forecast loads, account for energy efficiency, and  
7 then build what we need to keep the system up and  
8 reliable. If I look at the 33 percent RPS and  
9 just the quantity of energy that we're going to  
10 need to add to the system to hit 33 percent by  
11 2020, what I find out is that there's actually not  
12 enough room for all of the conventional resources  
13 that we have already, okay.

14 So, it's not a matter of just adding  
15 more to get load. It's adding more and actually  
16 displacing something on the order of 11 percent of  
17 the conventional resources that we use in the  
18 state by 2020 with renewables. So, it's a very  
19 different kind of planning perspective.

20 I think the other things, there's a  
21 number of other things that are just really a  
22 challenge that are adding on top of that. One is  
23 the once-through cooling issue. I think there's  
24 something like 28,000 megawatts, some huge amount  
25 of generation in the state that uses once-through

1       cooling that we're on the hope to phase out over  
2       some uncertain period.

3               And there's a lot of question marks  
4       about even if we retrofit and can retrofit, we're  
5       going to have to have plants offline, and we're  
6       going to have to manage that whole process.

7               There's another who challenge, as well,  
8       under retirement or repowering of older generation  
9       facilities in the state. And now I think more  
10      than ever the sort of local communities and the  
11      environmental justice issues around retirement and  
12      repowering of existing plants is going to be  
13      tremendous. There's going to be a lot of focus on  
14      that. And so there's a lot of uncertainty about  
15      what's going to happen with our existing plants.

16              The other thing that I've noticed is  
17      that the CPUC has just released a sort of a  
18      proposed decision on energy efficiency goals. And  
19      the CEC has its own process on establishing energy  
20      efficiency goals with the public utilities in the  
21      state. And the goals are unprecedented high,  
22      okay. They're sort of in an uncharted territory.

23              Not that we can't do them, not that we  
24      won't, but in terms of planning we're really  
25      counting on achieving an amount of energy

1 efficiency that's well beyond anything that at  
2 least I know anybody's ever been able to  
3 accomplish.

4 So, the last thing that's, I think, a  
5 big challenge that we've seen with the new  
6 transmission line sitings is just how difficult it  
7 is to get a new transmission line up.

8 I don't feel like it's a matter of money  
9 so much, although money is obviously a large part  
10 of it, it's just can you get the sites. It's  
11 you're going to get through the environmental  
12 process to be able to establish a new transmission  
13 line.

14 So, there's probably some more, too.  
15 But there's a number of challenges that we have in  
16 terms of planning of renewables, reliability and  
17 sort of across the board.

18 In terms of the other questions, I think  
19 I addressed most of them. The natural gas demand  
20 and supply, that's something I'm going to have to  
21 think about a little bit more, but I'm just  
22 initially a little hesitant to count on a lot of  
23 natural gas price reductions. From a public  
24 policy perspective, one of the -- the big issue  
25 that's driving 33 percent RPS is greenhouse gas

1 reductions.

2 And it seems like we have a lot of  
3 policies to reduce greenhouse gases, one of which  
4 is RPS. But there are others. In particular,  
5 moving away from coal generation. So we have SB-  
6 1368, which basically limits new coal development  
7 funded by California entities.

8 We've got a lot of pressure, political  
9 and environmental pressure, not to build new coal.  
10 The Texas merger comes to mind of -- was it last  
11 year -- where a number, I think 15 or something  
12 like that, coal plants were basically put on hold.  
13 Seems like every day there's a new coal plant  
14 somewhere that can't be built in states that you  
15 would expect could build a new coal plant.

16 So, while we can displace natural gas  
17 with renewables, I'm worried that we'll have even  
18 more demand for natural gas as we move away from  
19 coal supply. And it's a regional market.

20 So, from a perspective of environmental  
21 policy bringing down natural gas prices, I'm not  
22 sure sort of where that falls out.

23 I think that's the summary.

24 MS. DOUGHMAN: Okay. Jaclyn.

25 MS. MARKS: Well, I'm strategically



1 placed after Snu because I absolutely agree with  
2 him that -- this was planned -- that this new  
3 paradigm of renewables coming online and actually  
4 decreasing the amounts of conventional and fossil  
5 is going to require a whole new way of planning.  
6 And that is really why we, at the CPUC, are taking  
7 this 33 percent staff analysis and taking into  
8 account as part of the long-term procurement plan  
9 proceeding.

10 So that we're not stuck with stranded  
11 costs in the future. That today we are aware, as  
12 far as we can be, the policy in the future and the  
13 uncertainties and know where we need to go based  
14 on what we know today.

15 I would also just like to emphasize that  
16 I'm encouraged that the CA-ISO will be studying  
17 the operational impacts of 20 percent, and is  
18 working on 33 percent renewables to be later this  
19 year. That's great. We need that type of  
20 analysis. And it's really a key input into what  
21 the PUC Staff analysis will do, and also the IEPR  
22 analysis.

23 Just two specific points about that  
24 analysis. What we're really looking for is some  
25 type of quantity of the ramp and regulation needed

1 to integrate 33 percent renewables. Because it is  
2 this new paradigm; it's not, you know,  
3 conventional natural gas-fired amounts, it's  
4 flexible fossil, it's peaker plants.

5 Also the cost to integrate these plans.  
6 But I know that's a tall order by the end of the  
7 year when we would hope to get that type of  
8 information. So, at least if we can get some type  
9 of perspective of the quantity of ramp and  
10 regulation needed, we can work out in turn a  
11 methodology through Snuller Price and our E3  
12 consultants to get a handle of the quantity of  
13 ramp and regulation needed and cost estimates.

14 So, we look forward to working together with  
15 the Cal-ISO on that.

16 And I'd also like to mention that at the  
17 CPUC we have a wealth of information on the RPS  
18 procurement process on, you know, the number of  
19 contracts that have been signed, which ones are  
20 new, and we're happy to work with you and provide  
21 you with this data for your analysis. And, of  
22 course, the same goes for IEPR.

23 And just one last comment. I'd like to  
24 respond to Jan, who, unfortunately isn't here, but  
25 I'd like to make a point on the feed-in tariffs.

1 First of all that when she spoke about the QF  
2 program she spoke about it like it was in the  
3 past. But we actually still have the QF program  
4 in place today.

5 Ad renewable projects are still eligible  
6 to participate in that program. So we do have a  
7 feed-in tariff for renewable projects.

8 And second, we have a least-cost/best-  
9 fit methodology for choosing renewables. The  
10 investor-owned utilities implements that  
11 methodology when they rank and choose which  
12 specific projects that came through the  
13 competitive solicitation to negotiate with.

14 And this methodology, this best fit  
15 takes into account when projects come online, any  
16 maybe innovative technology, whatever the unique  
17 attribute is that makes that project more valuable  
18 is considered when the investor-owned utilities  
19 are ranking bids from the solicitation. So we are  
20 already doing that.

21 Perhaps feed-in tariffs could, you know,  
22 play a role in increasing the amount of  
23 renewables. And for those of you who are not  
24 aware, the PUC is currently looking at a feed-in  
25 tariff for projects, renewable projects that are

1       20 megawatts and smaller.

2                   And that's it for me.

3                   MS. DOUGHMAN: Okay. Any members of the  
4 panel want to respond, or just ask questions of  
5 other members?

6                   DR. JASKE: Yeah, let me just sort of  
7 try to maybe connect the dots, to use a metaphor  
8 that Mr. Yakout likes, or Monsour likes to use a  
9 lot. And that is pursuing renewables in the face  
10 of these many issues, OTC, resource adequacy in  
11 general, local resource adequacy, climate change,  
12 you know, really means a whole host of fine detail  
13 about what resource fits in what little slot.

14                   And, you know, we used to have a process  
15 with integrated utilities where they could  
16 undertake those in analytic studies. And once  
17 they came to a conclusion, make a decision and  
18 generally get it through their regulatory entity.

19                   So much harder to do those things in the  
20 current environment. Not everyone has all the  
21 right information. There's 18 different  
22 incentives from Sunday that guide various players  
23 in the industry.

24                   So, some ways of perhaps not a horribly  
25 difficult problem, you know, from an engineering

1       analysis perspective, becomes so much more  
2       difficult with this market overlay. Of course,  
3       we're not going to solve that problem. But we  
4       need to recognize that there's just a whole slug  
5       of conditionality about once you decide what seems  
6       to make sense, from a planning perspective, how  
7       could it actually happen in the real world.

8               MS. DOUGHMAN: Any more comments from  
9       the panelists?

10              MR. HAWKINS: Good comments. I'd just  
11       echo the fact that, you know, good planning is  
12       essential to make this work. And it's not going  
13       to happen by accident. It takes really dedication  
14       and resources and people and policies and plans to  
15       really make it work.

16              So, we're on the right track with these  
17       kinds of workshops.

18              DR. NAKAFUJI: Also, just Jan mentioned  
19       that we need to start today. There's a lot of  
20       work that we can do today, given these  
21       uncertainties, to start filling in the gaps for  
22       information, especially where there are seams,  
23       meaning like the transmission and the operation,  
24       the utility industry and the market environment.

25              You know, those are the seams where a

1 lot of these issues are going to fall through as  
2 we have this paradigm shift, or this  
3 transformation into this new utilities-managed  
4 resource kind of perspective.

5 And we need to be cognizant of those,  
6 because otherwise it's going to be pitched over  
7 and you assume it's taken care of, and it's going,  
8 in the long run, cost us more to come back and  
9 band-aid it or, you know, provide the  
10 infrastructure or the security to make it  
11 sustainable.

12 The other thing, too, is I forgot to  
13 mention this earlier related to the environmental  
14 side. Should there be focus on repowering  
15 existing wind facilities? This is an issue that I  
16 think is very germane to California, given that a  
17 lot of the facilities we have are very old, the  
18 technologies, the turbines that we have. Not that  
19 we don't have new technology, but this is a  
20 problem that I think is more unique to our state  
21 than any of the other states.

22 And so if we don't repower our existing  
23 facilities or facilitate that repowering, we're  
24 really -- a lot of those resources devolve in the  
25 prime locations. If we don't take advantage of

1       that, we're going to really lose out on optimizing  
2       resources that have transmission capacity that's  
3       close to load. In the case of the Altamont. And,  
4       you know, we're not really optimizing the  
5       resources for those needs.

6               MS. DOUGHMAN: Okay, anything more from  
7       the panel? No?

8               Okay, so I have some blue cards. And as  
9       we go, if you'd like to join the stack of blue  
10      cards, just why don't you, Kevin and Mike, raise  
11      your hands. Just raise your hand and Mike or  
12      Kevin will come to you.

13              So, first I'll go through the blue cards  
14      that I have here. Then we'll go to the phones to  
15      see if there are any questions or comments. And  
16      then we'll go from there.

17              Okay, the first blue card I have is  
18      Bruce Baccei.

19              MR. BACCEI: Baccei.

20              MS. DOUGHMAN: Baccei. Go ahead.

21              MR. BACCEI: Bruce Baccei; I'm with  
22      SMUD. Let's see, on the pricing and all that, on  
23      the demand side I think pricing is another thing  
24      that we should look at. That that will make a big  
25      difference. I know we're looking at different

1 rate structures and so on.

2 But the main thing I want to mention, we  
3 have a new contract with the CEC that's just about  
4 -- we've been working on it for three years. And  
5 we think it's finally going to be born in the next  
6 few months. But it's part of the ZENH program.

7 And one of the things that I'm  
8 recommending to get closer to zero is to not just  
9 look at energy efficiency and PV, which it has  
10 been in the past, but the other ingredient I want  
11 to bring to it is passive solar.

12 And I'm talking about passive solar  
13 heating and cooling. And that's not anything that  
14 I've heard mentioned here.

15 Before I worked -- I've been with SMUD  
16 just ten weeks. And before, for the last five  
17 years I've been managing one of the Building  
18 America teams, called Building Industry Research  
19 Alliance, BIRA, managed by ConSol in Stockton.

20 And in any of these areas you need to  
21 work with early adopters to be, you know, cutting  
22 edge. And we worked, had the great fortune for  
23 John Suppes with Clarum Homes to come forward. He  
24 built a big development down in Watsonville, 257  
25 houses. And with that success he wanted to look



1 at how to build super-efficient homes in the  
2 super-hot desert.

3 So he came to us wanting to build four  
4 prototypes down in Barrego Springs. Two of those  
5 houses were built with a concrete sandwich wall  
6 system. And that's not going to catch on and go  
7 all over the place. But just to kind of show you  
8 what you can do.

9 So it was four inches of concrete, four  
10 inches of styrofoam, two inches of concrete as you  
11 go from inside to outside. And it doesn't cool  
12 off in Barrego Springs, you know. But there is a  
13 diurnal swing, so it is cooler at night.

14 And so I asked that we do a -- we had  
15 NREL run this experiment for us. We cooled the  
16 houses from 10:30 at night until noon. And then  
17 shut the air conditioners off. And we did this in  
18 a couple of side-by-side houses.

19 In these houses that had concrete slab  
20 floors and these concrete walls, the temperature  
21 changed 4 degrees between noon and 10:30 at night,  
22 and 105 degrees outside.

23 Now, that's kind of an extreme thing,  
24 but I can tell you about my mother's house. My  
25 mother lives over in Woodland, just 20 miles west

1 of Davis. And forever, I mean this is nothing  
2 new, this is what my mom and dad have been doing  
3 for years, I mean it's not that well built or any  
4 of that kind of stuff.

5 But we are blessed by this diurnal swing  
6 in temperature in this valley most of the time.  
7 And so she opens it up and cools it off at night,  
8 maybe even runs a whole-house fan. And then if it  
9 gets really hot she runs an evaporative air  
10 conditioner, single stage, old time swamp cooler.  
11 And that's all she has used for all these years.  
12 Those kinds of things can be enormously helpful.

13 And with the peak pricing there can be  
14 an incentive. We can educate people about  
15 cooling. In addition to charging the SUVs at  
16 night, run your air conditioner at night. That's  
17 fine. And then keep the house closed up.

18 The other thing is just simple shading.  
19 If we just shaded west glass most of our peak  
20 would go away.

21 PV orientation. On another Building  
22 America project right here in Rancho Cordova, SMUD  
23 provided us data. They monitored their two  
24 projects, roughly 200 houses; 95 houses, 98 houses  
25 side-by-side. Kind of a really ideal thing.

1           And one -- we tried to get both builders  
2       to work with us and do the energy efficiency and  
3       the PV, but only one agreed to. So we had this  
4       side-by-side comparison. And the project was  
5       designed before they put the PV on, so the PV got  
6       put on the easiest way to do it. And it was  
7       southeast or west.

8           It ended up with about 25 percent of  
9       them facing east. Still, when we, in July when we  
10      had our new peak, it helped us immensely. And we  
11      looked at the -- I mean you can do this with a  
12      computer simulation, but when you get real data  
13      showing you this, it really comes home strong.h

14           There's an incentive for utilities, if  
15      you're going to pay a rebate and incent people to  
16      put PV on, have it south or southwest, or even  
17      west. And if it's west, if you incent them  
18      enough, they'll lose a little bit annually but  
19      it'll help you immensely on the peak thing.

20           Now, I want to take my SMUD hat on, and  
21      just put my hat on as citizen of Sacramento, and -  
22      - or citizen of the country. My undergraduate  
23      degree is from the U.S. Military Academy. And as  
24      such, I, you know, years ago I stood up and swore  
25      to defend the Constitution of the United States.

1 And the national security is another thing that we  
2 should be entering into the formula of cost  
3 effectiveness, it's real.

4 I mean the tankers go back and forth,  
5 the oil companies don't pay for that, we do. It's  
6 real.

7 The other thing I'll just mention, and  
8 then I'll be quiet about this, is that Randy Udall  
9 and Steve Andrews formed the U.S. Chapter of the  
10 Association for the Study of Peak Oil about four  
11 years ago. And they've had -- I attended the  
12 conference that they did in Denver four years ago.

13 They had a conference in Boston, they  
14 had a conference in Houston, and in September, the  
15 21st through the 28th, it's happening here in  
16 Sacramento. And they will not only address peak  
17 oil, but they'll talk about natural gas. And the  
18 concerns that you've expressed about the  
19 volatility in that area, I think, are well  
20 founded.

21 I would recommend that you go to Randy  
22 Udall's website; do just a search on his name and  
23 you'll see CORE, CORE. And look at his paper  
24 called methane madness. And I have a few of  
25 these, and I'll take an email card and email one

1       if anybody else wants one that I don't have  
2       enough.

3               Thank you.

4               MS. DOUGHMAN: Thank you. Okay, --

5               MR. BACCEI: Oh, I just -- I mentioned  
6       the City of Sacramento and UC Davis are co-  
7       sponsoring this conference here in Sacramento.

8               MS. DOUGHMAN: Okay. The next blue card  
9       is from Jane Turnbull with the League of Women  
10      Voters.

11              MS. TURNBULL: Good afternoon; it is  
12      still afternoon. Thank you for a very interesting  
13      panel. I think we all have learned a good deal  
14      today.

15              There are a few questions that I still  
16      have that perhaps the panel could fill me in on.  
17      This morning Mr. Price mentioned combined heat and  
18      power and the potential that that has. I think  
19      this is something that the League's really quite  
20      enthusiastic about, but we hear it raised as  
21      something with a great deal of potential. And  
22      then nobody talks about what the potential  
23      actually is.

24              Is this exclusively distributed  
25      generation? I don't think that's the case.

1       Somewhere along the line it has to fit into this  
2       whole equation. And we'd like to see some  
3       legitimate realistic projections in terms of what  
4       is included in combined heat and power.

5               Secondly, what is distributed  
6       generation? Is that strictly PV on the roof, or  
7       is it small-scale combined heat and power, or are  
8       there other forms of distributed generation out  
9       there. And how does distributed generation fit  
10      into this overall portfolio of generation and  
11      resource procurement.

12             I think Dr. Jaske's final comments were  
13      very important regarding the issues of renewables  
14      procurement planning and how it is today, or how  
15      it still is not today.

16             The fact that we do have a local  
17      resource adequacy element out there, I think, is  
18      commendable. To what extent we're actually using  
19      it, and to what extent the local communities are  
20      involved in it, I think is a very big question.

21             Our Attorney General has asked our  
22      counties and local communities to develop energy  
23      elements in their general plans. Most communities  
24      have no idea where to start. But somewhere along  
25      the line they do have a role in this whole

1       renewables procurement planning process.

2               And so I think that somewhere along the  
3       line this local resource adequacy element needs to  
4       be tied to the local communities.

5               I also would like very much for someone  
6       to come up with an answer in terms of whether a  
7       local community can adequately meet its long-term  
8       renewable and nonrenewable procurement  
9       requirements without transmission. Simply using  
10      distributed generation. That may be a fiction,  
11      but right now that fiction has a great deal of  
12      popularity out there. And unless we get some good  
13      answers I think that popularity will continue,.

14              Thank you.

15              MS. DOUGHMAN: Thank you.

16              DR. JASKE: Let me observe, Ms.  
17      Turnbull, that in the vast panoply of RPS  
18      requirements of the various states around the  
19      country, there's enormous variation in what  
20      technologies are considered part of those eligible  
21      for satisfying the requirement.

22              Some of them include energy efficiency,  
23      you know, as part of, in effect, a preferred  
24      resource standard, not necessarily just a  
25      renewable one. Some of them would allow for the

1 sort of things that Mr. Baccei talked about, you  
2 know, sort of passionately, the rooftop solar or  
3 even passive design things.

4 So there's a whole other thought process  
5 out there in other parts of the country about how  
6 to go about pursuing, you know, a preferred  
7 resource strategy than this particular formula  
8 that, you know, we have inherited from a number of  
9 years ago here in California.

10 Whether that should be changed, even if  
11 the politics could allow for it to be changed, you  
12 know, or is it a third rail to even talk about  
13 changing it, you know, I don't know. I'd just  
14 observe that we have our own parochial perspective  
15 about how we define this question.

16 There's lots of other ways of asking the  
17 question out there in the country.

18 MR. HAWKINS: Yeah, I'd also like to  
19 make a response and thank you for your comments.  
20 When you think about Hawaii, Hawaii has basically  
21 isolated systems. And they basically, each island  
22 is self sufficient. And so when you look at some  
23 the interesting issues that they have, where they  
24 have really promoted wind generation. And they  
25 really have substantial interesting problems,



1       let's put it this way, of trying to control their  
2       frequency, and some of their voltage problems.

3               And a number of islands, Iceland has  
4       also gone down this route, and also has some  
5       fairly interesting issues and so forth. And so  
6       those are sort of the extreme.

7               The advantage we have at least in the  
8       western part of the United States, and certainly  
9       in California, is the fact that we're part of this  
10      large interconnected grid. And it gives us a  
11      wonderful advantage of being able to stabilize the  
12      grid, and provide a lot of backup resources, and  
13      to move economy energy from the Pacific Northwest  
14      and others around.

15              So there is some advantage of having  
16      that. I certainly understand the desire for self  
17      sufficiency and what communities would like to do.  
18      And those are very interesting tradeoffs. And my,  
19      well, let's see, I guess my recommendation is that  
20      we need both.

21              You know, the more that we can provide  
22      local generation, the better that local community  
23      then is aware of the resource tradeoffs that  
24      they're potentially doing. And I think those are  
25      reasonably good investments to be done.

1           At the same time, making sure the grid  
2           is there as the backup and the thing that provides  
3           the reliability, which then provides them the  
4           economic environment for businesses and everything  
5           else to flourish, I think also has its place.

6           So, it's a good partnership if the two  
7           can work together.

8           MS. DOUGHMAN: Go ahead.

9           MR. PRICE: I was just going to point  
10          out that I think that the last really thorough  
11          potential study of CHP for California was done as  
12          part of the 2005 IEPR analysis. And that's the  
13          study that we looked to when we went back on CHP  
14          potential for the GHG analysis for the CPUC. So,  
15          if you can find that you probably have it.

16          But, for what it's worth.

17          MS. DOUGHMAN: Okay, any more comments  
18          from the panel? Okay, the next blue card I have  
19          is Merwin Brown, Director of Transmission,  
20          Research and Development with CIEE.

21          MR. BROWN: Thank you. If I may, Pam,  
22          you just asked the question, it's a fairly simple  
23          one. Name is Merwin Brown with California  
24          Institute for Energy and Environment, University  
25          of California.

1                   This meeting today was mostly about  
2           reviewing past studies that have been done, what  
3           the messages were from them. What's the next  
4           study that needs to be done. This is directed to  
5           either each panel member or anyone who wants to  
6           volunteer. But where would you like to see the  
7           resources put? What's the next big question or  
8           questions you'd like to see answered of similar  
9           type studies?

10                   DR. JASKE: I think from my perspective  
11           this whole constellation things associated with  
12           backing out conventional resources while adding  
13           renewables with the overlay of both -- well, with  
14           the overlay of local reliability, the sort of nut  
15           of a complicated analytic problem that hasn't had  
16           sufficient attention.

17                   And will -- not only is it desirable to  
18           be looked at, it's essential that we look at. And  
19           part of the essentiality of it is the State Water  
20           Board and their OTC mitigation policy. It isn't  
21           yet final, but which is moving along. And it's  
22           going to, at least in many people's minds,  
23           essentially cause all the old steamers to retire.

24                   And some of them will try to repower,  
25           and some of them will just throw in the towel and

1 say forget it. Because, you know, a lot of them  
2 are in southern California, and the licensing  
3 logistics, you know, the air quality issues, the  
4 offsets they'd have to find are just so  
5 formidable.

6 Some of them will try to repower and  
7 some will bet their future, you know, in an energy  
8 forum, through a combined cycle. And some of them  
9 are going to try to just go as peakers, you know,  
10 and essentially survive on a capacity payment.

11 And there's probably, you know, a bunch  
12 of money available that route, which might be  
13 enough to make a plant go.

14 And then there's the whole other  
15 question, independent of the desires of the  
16 generators, of what are the alternatives. So,  
17 certainly various kinds of local generation,  
18 rooftop PV, combined heat and power, distributed  
19 generation, you know, all of which would, in  
20 effect, whether it's classified as a local  
21 resource, have the effect of reducing load, or  
22 potentially reduce load, and be there in that  
23 location.

24 And then finally, perhaps connected to  
25 your CIEE research area, is how should the

1 transmission system be changed to allow some or  
2 all of that to happen. Is it feasible to expand  
3 transmission in that completely urbanized  
4 environment of southern California in a way that,  
5 you know, just to pick on someone, you know, the  
6 1500 megawatts at Ormond Beach, you know, don't  
7 need to be replaced at Ormond Beach.

8 We don't know the answer to those  
9 questions. And the ISO has a study which is sort  
10 of launched trying to get the three PTOs to look  
11 at this OTC issue and how they might be replaced.  
12 And I'm sure they will make some progress, but  
13 this is a very complicated constellation of both  
14 problem and solution that, you know, the more  
15 resources brought to bear on it, the better.

16 MS. DOUGHMAN: Snuller.

17 MR. PRICE: I think I'd answer the  
18 question about what's needed is in terms of the  
19 next step of modeling or what-have-you, is -- and  
20 maybe this is because I do planning for a living,  
21 but I think it's more planning.

22 I feel like the policy, we're getting a  
23 lot of -- in an environment where there's a lot of  
24 policy that's pushing us, the 33 percent that was  
25 in the draft scoping plan at ARB is really pushing

1 the 33 percent for all of the utilities, not just  
2 the investor-owned utilities.

3 There's a number of other initiatives  
4 that affect the electricity sector in there. And  
5 I'm feeling like it's time for the planning and  
6 analysis to sort of catch up.

7 So I feel like the policy is sort of  
8 driving the planning, rather than the planning  
9 driving the policy.

10 So, to me, the solution to that is to  
11 really do a good job on our planning and lay out  
12 alternative policy options that can get towards  
13 these goals that -- ambitious goals that we've  
14 laid out.

15 MS. MARKS: I would second what Snu  
16 says. And, as well, I started off this  
17 conversation with what the PUC intends to study.  
18 And that's really the implementation barriers to  
19 getting renewable projects online.

20 So, you know, we can do an analysis of  
21 what we think is possible, but then we need to,  
22 you know, take a step back and say, okay, what is  
23 physically possible, given all these  
24 implementation barriers. It's really the next  
25 level of analysis.

1           The analysis won't stop at what are the  
2       barriers. We also want to take it to the next  
3       step which is what are the solutions to overcome  
4       these barriers. And those solutions don't just  
5       rest with the PUC, but they rest with the CEC and  
6       the Cal-ISO, you know, the counties, and all of  
7       the local and state and federal government  
8       entities that are responsible for some aspect of  
9       bringing renewable projects online.

10           MS. DOUGHMAN: Dora.

11           DR. NAKAFUJI: Well, I think throughout  
12       this presentation folks have mentioned continuing  
13       to do these assessments periodically. But I think  
14       now that there are a lot more countries, states  
15       that are dealing with high penetration, that maybe  
16       starting to track some of the successes that they  
17       have in mitigating and adopting strategies that  
18       have worked.

19           I mean that, I think, will provide the  
20       confidence that we need in order to move in a  
21       direction. If we don't do that, you know,  
22       everybody's reinventing the wheel every single  
23       time.

24           Reliability metrics is important, and I  
25       think bringing in the utility planners

1 perspective, as well as the operations, together.  
2 Because if we're going to keep these in stovepipes  
3 and plan it the way that the system has been  
4 planning it, this is a new paradigm.

5 We don't know if our current regulatory  
6 environment is sufficient. We may be completely  
7 over-shooting our current reserve requirements as  
8 more of these renewables come online. We really  
9 don't know what that's going to be like.

10 The other area is, I think,  
11 interdisciplinary or inter-industry impacts.  
12 We've talked about the natural gas. We've talked  
13 about the hydro and the electrical. So the  
14 electricity is the underpinning infrastructure,  
15 the critical infrastructure. And from a national  
16 laboratory standpoint that has the security  
17 perspective, this is an area we're definitely  
18 focusing on as far as vulnerability assessments  
19 and as well as looking at local disruptions and  
20 also other disruptions.

21 Internationally, you know, we have the  
22 border issues. And also between -- inside the  
23 state's borders.

24 And then coupling climate change  
25 impacts. I think that's still an area that's



1 still out there. Because climate community speaks  
2 a different language. And taking their 100-year  
3 assessments and bringing those threads of issues  
4 to an operating environment, and communicating  
5 that to the planners and the operators. I think  
6 that's another area that hasn't really been -- the  
7 communication hasn't been very strong.

8 MS. DOUGHMAN: Go ahead.

9 MR. HAWKINS: Well, I think Dora's  
10 really put her finger on a lot of it. The whole  
11 concept is that there's a lot of individual  
12 projects and pieces that we've looked at.

13 We have this vision, the vision is 33  
14 percent. That's great. So, now trying to put  
15 that together into a total picture or mosaic of  
16 how we get there, and how each of the individual  
17 little projects and studies and so forth actually  
18 fit together into making that final quilt of  
19 things that really look good, to make this work.  
20 That's the challenge.

21 And so I think we're starting down that  
22 direction. And it involves really working with  
23 the Commissions, as well as the utilities, very  
24 heavily involved in this. It's their customer  
25 base that is affected by the reliability and the

1 things we do.

2 And so I think seeing this integration  
3 of the pieces and getting our team of people  
4 together on these things, and continuing to create  
5 that vision of how the project pieces fit together  
6 into the larger picture is the critical step.

7 The other piece that's missing, and  
8 Merwin and I have talked about this, is we're  
9 still missing a lot of data. If I want to make my  
10 own studies, I want to do other kinds of studies,  
11 look at impacts of things, I really know very  
12 little about some of what the renewables actually  
13 will perform like.

14 And I guess I'm still interested,  
15 research that provides better data, better  
16 modeling. And also we're experimenting with new  
17 transmission strategies, intelligent agents, smart  
18 devices that really help control the power grid,  
19 itself. And that research is just underway, just  
20 begun this year. And we're looking to see how  
21 those things play out.

22 Plus taking advantage of the next level  
23 of phaser technology which then really looks at  
24 the stability of the grid. And ultimately be able  
25 to make changes to that.

1                   So we've got a lot of different pieces  
2           that we're working on. The research and  
3           development activities are critical. And it's  
4           also critical that the utilities, particularly the  
5           transmission owners, are engaged with that.  
6           Because if we want to install the devices or test  
7           them, it goes into their substations. And so they  
8           have to write the plans and blueprints and so  
9           forth as to how to hook them up.

10                   So, all of those plus the communications  
11           infrastructure to make this happen, are all the  
12           pieces that we need. So, it's a complicated  
13           picture, you know. We like to simplify it, we  
14           like to think it's really easy. We'll just hook  
15           up some more windmills, some stuff like that. But  
16           it's much more complicated.

17                   And I think recognizing that and then  
18           trying to have the vision of what that looks like,  
19           keep the vision in mind. But then let's build the  
20           overall plans to get there. So, I like your  
21           planning scenario.

22                   MS. DOUGHMAN: Anything more from the  
23           panelists? Any questions from the phone? Any  
24           more blue cards in the audience?

25                   Go ahead.

1 DR. JASKE: At the risk of a clear  
2 changing comment --

3 (Laughter.)

4 DR. JASKE: I think that one of the  
5 things that's implied by Dave Hawkins' comment,  
6 and my own earlier one, is how do all these things  
7 fit together and on what timeline.

8 We obviously have the message of high  
9 renewables and the year 2020 is an interesting  
10 thing on a decade, you know, that is a great  
11 slogan. But, if we got 35 percent renewables by  
12 2025, you know, with a lot more comfort and a lot  
13 more perhaps significantly lower cost, because  
14 things could be staged a little bit better, we'd  
15 all probably, you know, after the fact, think we  
16 were better off than something that cost more and  
17 sort of got 30.5 percent by 2020, because we just  
18 didn't quite make it.

19 And so how do we, you know, be inspired  
20 by the vision, as Dave called it, but not get so  
21 hung up on that formula that, you know, it just  
22 becomes gridlock in terms of doing all the things  
23 that we need to do.

24 DR. NAKAFUJI: That's a real good  
25 question about setting expectations. I mean, you

1 know, if we didn't set that carrot out there, or  
2 that goal out there, nobody's going to be  
3 motivated to do anything.

4 And, you know, is 33 percent the magic  
5 number? Who knows. I mean, 20 percent in 2012 is  
6 the --

7 MR. HAWKINS: Do I hear 50 --

8 DR. NAKAFUJI: -- number, you know,  
9 we're hearing that. So, was 2010 the magic  
10 number. Who knows. But at least -- I think the  
11 message, though, is that with all the gloom and  
12 doom out there about oil dependency and security  
13 and fossil energy, you know, meeting its peak.

14 It's clear that we've got to look for  
15 some alternatives. And it's not that fossil is  
16 going to completely disappear, but we've got to do  
17 something to augment that. And to the degree that  
18 we can augment it, I think that spawns the juices  
19 of innovation and the creativity that brings  
20 together, you know, the communities to try to find  
21 something alternative and new and to enhance our  
22 environment.

23 So, I'm not too stuck on a number, but  
24 at the same time, hey, it's a shot in the dark.

25 MR. HAWKINS: Well, Al Gore says we need

1 to get there in ten years, right, something like  
2 that.

3 MS. DOUGHMAN: Okay, I have a few wrap-  
4 it-up slides, so let me jump to the other end  
5 here.

6 Okay, I think we have discussed some of  
7 these remaining questions. But in your written  
8 comments, remaining members of the participants of  
9 the workshop and all those on the phone, if you  
10 could also address these last questions regarding  
11 existing studies.

12 Are there others that we've missed. And  
13 what other studies are planned or underway that we  
14 need to know about. And what additional studies  
15 are needed to better understand the impacts of  
16 higher levels of renewables on the system. Or to  
17 identify ways to mitigate those impacts.

18 And here I have instructions on how to  
19 provide written comments. Please provide your  
20 comments by 5:00 p.m. on Friday, August 1st. And  
21 please include the docket number, 08-IEP-1B, as in  
22 boy. And indicate 2008 IEPR update 33 percent  
23 renewable electricity in the subject line. And  
24 then you can see the notice for further  
25 instructions.

1                   And then I have here links to all of the  
2           studies that were included in attachment A of the  
3           notice, including a link to the intermittency  
4           analysis project, the final report. And so you  
5           can look at these for further study on this topic.

6                   So, if there are no more questions, why  
7           don't we adjourn. And thank you very much for an  
8           excellent workshop.

9                   (Whereupon, at 4:20 p.m., the workshop  
10          was adjourned.)

11                               --o0o--

12

13

14

15

16

17

18

19

20

21

22

23

24

25

## CERTIFICATE OF REPORTER

I, PETER PETTY, an Electronic Reporter,  
do hereby certify that I am a disinterested person  
herein; that I recorded the foregoing California  
Energy Commission Staff Workshop; that it was  
thereafter transcribed into typewriting.

I further certify that I am not of  
counsel or attorney for any of the parties to said  
workshop, nor in any way interested in outcome of  
said workshop.

IN WITNESS WHEREOF, I have hereunto set  
my hand this 5th day of August, 2008.

PETERS SHORTHAND REPORTING CORPORATION (916) 362-2345