

DOCKETED

Docket Number:	19-OIR-01
Project Title:	Load Management Rulemaking
TN #:	232502
Document Title:	Transcript of 03-02-20 Staff Workshop
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	3/23/2020 2:43:38 PM
Docketed Date:	3/23/2020

STATE of CALIFORNIA

CALIFORNIA ENERGY COMMISSION

In the matter of:) Docket No. 19-OIR-01
)
2020 Load Management) RE: Review of Draft
Rulemaking: Draft Tariff) Tariff Standard
Standard Amendments)
)
)
_____)

STAFF WORKSHOP

Held at the
California Energy Commission
Warren-Alquist State Energy Building
1516 Ninth Street
First Floor, Art Rosenfeld Hearing Room
Sacramento, California 95814
Tuesday, March 2, 2020

Reported by:
Susan Palmer, CET-124, CER-124

California Reporting, LLC
(510) 224-4476

APPEARANCES

Staff from the California Energy Commission:

Karen Herter, Ph.D.
Daniel Johnson
Gabriel Taylor
Noel Crisostomo
Leah Mohny
Jacqueline Moore
David Nichols

Commenters and Attendees:

Dawn Anaiscourt, Southern California Edison
Gregg Ander, NAV consultant
John Anderson, Ph.D. OhmConnect, Inc.
Richard Aslin, Pacific Gas & Electric Company
Barbara Barkovich, Ph.D., California Large Energy
Consumers Association
Rolf Bienert, OpenADR Alliance
Tony Braun, California Municipal Utilities Association (CMUA)
Edward Cazelet, Ph.D., TeMix Inc.
Tamara Dzubay, Ecobee
Laura Fernandez, BDSW, for CMUA
Madeline Fleischer
Martha Halek, State Regulatory Governmental Affairs
Emily Lemei, NCPA
Jessica Melton, Pacific Gas & Electric Company
Jennifer Montanez, San Diego Gas & Electric
George J. Nesbitt, HERS rater
Lawrence Orsini, LO3Energy
Henry Richardson, WattTime
Lekha Sridhar, WattTime
Jeff Stein, San Diego Gas & Electric
Nick Blar, SCPPA

1 P R O C E E D I N G S

2 MARCH 2, 2020

10:02 o'clock a.m.

3 MR. TAYLOR: Good morning, everybody. Welcome to
4 the California Energy Commission and welcome to this
5 Workshop on the 2020 Load Management Rulemaking. Thank you
6 for joining us, those people in the room in person, and we
7 have quite a few people online, so thank you for joining us
8 there as well.

9 You will note that I'm not wearing a tie this
10 morning. This is a workshop. We're expecting you to
11 actually work and help us refine these regulations so that
12 they are the best they can possibly be. If you are in the
13 room and you are not an employee of the California Energy
14 Commission, please come up and sit at the table. We'd like
15 to pull everybody who is interested in joining this
16 conversation and commenting on the record up to the table.
17 We have microphones up here. We have a court reporter and
18 we are recording this workshop as well. So we're trying to
19 get as much valuable information from everybody in
20 attendance.

21 The Energy Commission staff are welcome to
22 participate in the conversation of course as well. I'm just
23 trying to make sure that we get our guests at the table. So
24 please do that now, if you can. I'm going to continue my
25 conversation here just for a moment.

1 So I have -- when we're engaged in this
2 conversation, we're trying to keep everybody to a reasonable
3 length of speaking, so we do have a timer. Here is the
4 timer, it's a three-minute timer. Please try to keep your
5 comments to around three minutes per time you raise your
6 hand. I don't want to have to use this timer, but I will
7 resort to that if people are abusing the time limit and not
8 letting others speak.

9 If you're online, please raise your hand when you
10 want to speak, and we'll unmute you and give you an
11 opportunity. If you're in the room, please just indicate
12 you need to speak, and Karen Herter over here will be
13 managing the discussion.

14 Thank you very much for joining us today. And I
15 see there are quite a few people who are not at the table.
16 Please do, especially if you're from any of the five
17 utilities that are named -- all right, well, I'm not going
18 to force anybody.

19 Okay, Karen -- oh, I have one more thing actually,
20 yes, the housekeeping. So for those of you not familiar
21 with the building, we do have restrooms over to this side
22 and to the other side of the stairs. If there is an
23 emergency, there will be an alarm that will sound. It is an
24 extremely loud alarm, you will not mistake it. Please
25 follow staff out the door and to the park across the street.

1 There is an alarm on that door over there that will probably
2 get set off four or five times during the meeting. Just
3 ignore it. It's just annoying.

4 Thank you, everybody, again for joining us. I'm
5 turning it over to Karen here for a brief presentation, then
6 we'll get into the discussion.

7 DR. HERTER: Thank you. Actually the presentation
8 is the discussion, so if you would go to the first slide.

9 Hopefully everyone has seen the draft language
10 online. It's been posted to the docket. There is a
11 website. And if there are any questions about how to find
12 that website or how to find the docket, please ask me
13 afterwards and I can help you, to direct you.

14 This is a follow-on to the scoping workshop which
15 we did on January 14th. And we discussed our purpose of the
16 Load Management Standards in general. Today we're going to
17 be talking about the Tariff Standard which is one of the
18 four existing Load Management Standards in the California
19 Code of Regulations. And the original standard required
20 marginal cost rates. We are hoping to update those
21 standards to include hourly and subhourly rates.

22 What I'd like to do today is just go through line
23 by line, it's not a very long regulation, it's only about
24 half a page, maybe 20 lines, and discuss what's in there
25 right now and how the group and the stakeholders here in the

1 room and online would like to see changes to our draft
2 wording at this time.

3 So let's get started right away. The first
4 section is about the purpose and objective of the Tariff
5 Standard. This standard requires that retail electricity
6 providers develop rates based on marginal costs. That part
7 was in the original standard, more or less unchanged.
8 What's new is that they would submit the rates to the rate-
9 approving body and to the CEC. Originally it was only to
10 the rate-approving body. We're requesting that these also
11 be submitted to the CEC and to make them publicly available
12 -- this is the most important part -- for access by
13 customers and their devices.

14 So the whole purpose of this is really to get
15 hourly and subhourly rates offered by the utilities,
16 voluntary rates offered to customers who could take
17 advantage of them and also to publish them in a way that
18 customers and their -- more importantly -- their devices can
19 read the rates and automatically respond.

20 Fixed charges, rebates, and taxes associated with
21 electric service are not subject to the standard. And the
22 purpose of the standard, again, is to provide granular
23 economic signals that enable increased demand flexibility
24 through customer automation loads, with the goal of moving
25 electric demand away from system load peaks and toward times

1 of surplus renewable power.

2 So these are the words right now, the draft that
3 we're proposing, and we expect that many changes will be
4 made to this before we submit it for the final in a few
5 months. And we'd like to start the conversation on these
6 three lines to see if there are any objections to what we
7 have so far. And if not, we'll just keep going.

8 MR. ORSINI: I have not an objection but I have a
9 question.

10 DR. HERTER: Sure.

11 MR. ORSINI: So you say you want --

12 MR. JOHNSON: Could you unmute his mic?

13 MR. ORSINI: Is this --

14 DR. HERTER: It's unmuted. In fact, --

15 MR. JOHNSON: Oh, it is?

16 MR. TAYLOR: It is working. Please --

17 DR. HERTER: -- just get a little closer.

18 MR. TAYLOR: Please introduce yourself.

19 DR. HERTER: Please state your name, yes.

20 MR. ORSINI: Lawrence Orsini with LO3Energy. My
21 question is around the last sentence there, so shifting
22 towards surplus renewable, at times surplus renewable power.
23 I'm wondering for looking for a carbon effect from this or
24 actually looking specifically to address renewable power?

25 DR. HERTER: Yeah. That's more of a general goal

1 and it's really a carbon effect that we're looking for. And
2 so it could be reworded. Maybe a good way to reword this is
3 to say towards times of the carbon-free energy, since that
4 is our goal for 2045.

5 MR. ORSINI: Yeah, that would be my suggestion.

6 DR. HERTER: Okay.

7 MR. ORSINI: In the first meeting we had, the
8 presentation I believe by WattTime showed that the carbon
9 intensity and peak surplus renewables sometimes don't align,
10 so.

11 DR. HERTER: Sure. Okay, that's a good point.

12 Thank you.

13 Anything else?

14 MR. BRAUN: Hi. Tony Braun on behalf of the
15 California Municipal Utilities Association. As I read the
16 cross-referenced sections in the regulations, I just want to
17 clarify. So you're anticipating these will be submitted to
18 the Commission for formal approval, correct? So in order
19 for the rate to go into effect it would require the approval
20 of both the rate-setting authority and the Commission?

21 DR. HERTER: That's the way it's written right
22 now.

23 MR. BRAUN: Okay. thank you.

24 DR. HERTER: Sure.

25 MR. JOHNSON: We've got questions online.

1 DR. HERTER: Sure.

2 MR. JOHNSON: All right. This is -- my name is
3 Daniel Johnson. I'm helping with the Energy Commission
4 running the WebEx today. We have some questions online, so
5 I'm going to unmute and call your name, and then you can
6 speak. Let's go ahead with George first.

7 George, go ahead.

8 MR. NESBITT: Nothing at the moment.

9 MR. JOHNSON: Okay. Please take --

10 MR. NESBITT: Sorry.

11 MR. JOHNSON: -- down your question mark. Thank
12 you.

13 Let's see, okay, let's go with Edward.

14 DR. CAZELET: Ed Cazelet here from TeMix. On the
15 last point, the purpose of the standard, it talks about
16 shifting demand, but it doesn't talk about enabling
17 flexibility to support the grid. So, you know, particularly
18 with electrification coming, I suggest that it's important
19 that both goals be in the standard.

20 MR. JOHNSON: Great. Thank you.

21 Next we're going to go to Barbara.

22 Barbara, are you there?

23 DR. BARKOVICH: This is Barbara Barkovich. Are
24 you talking to me?

25 MR. JOHNSON: Yes. You can go ahead and speak to

1 the room right now.

2 DR. BARKOVICH: I am not prepared to do that yet.
3 I was having difficulty getting into the WebEx and the phone
4 number are disconnected, so I don't know what's just been
5 said.

6 MR. JOHNSON: Oh, I see.

7 DR. BARKOVICH: So may --

8 MR. JOHNSON: Okay.

9 DR. BARKOVICH: -- may I reserve for later,
10 please?

11 MR. JOHNSON: Sure, yeah. I'll --

12 DR. BARKOVICH: Thanks. Sorry about that.

13 MR. JOHNSON: That's okay.

14 All right, go ahead.

15 DR. HERTER: Yeah, I wanted to clarify my answer.
16 And, yeah, I think that the answer to the question on
17 approval by the CEC: just submission to the CEC, not
18 approval by the CEC. So it's not so much an approval as
19 just a notification. My apologies. I realized after I had
20 said it that I had misspoken.

21 Okay, anything else?

22 Go ahead.

23 MR. ASLIN: Hello. This is Richard Aslin speaking
24 on behalf of Pacific Gas & Electric Company. I just would
25 like to get a little bit of clarification on the second

1 bullet point that fixed charges, rebates, and taxes
2 associated with the electric service would not be subject to
3 the standard. Does that mean that this tariff is not
4 actually a rate that would be used to collect the revenue
5 requirement for whatever the entity is?

6 DR. HERTER: The purpose of that, and we're happy
7 to reword it to be clearer, is to make sure -- well, not to
8 make sure, but that fixed charges, rebates, and taxes don't
9 need to be hourly is really what that is saying. So the
10 rate itself should be hourly or subhourly. Taxes don't need
11 to be necessarily hourly or subhourly. Any fixed costs
12 could be hourly or not. It's up to, again, the PUC, or the
13 rate-approving body would make those decisions. That's
14 beyond what we are trying to do here.

15 What we want to do is make sure there is a rate, a
16 base rate that is hourly or subhourly. What -- some of the
17 fixed charges, rebates, and taxes is the purview of the
18 rate-approving body.

19 MR. ASLIN: Okay. Yes. Thank you for that
20 clarification. I think that would be good to add a little
21 bit of language in the actual proposed tariff to cover that.

22 DR. HERTER: Be happy to.

23 MR. ASLIN: And I just wanted to also say that I
24 do have PG&E's comments. Did you want me to hold those
25 until the public comment period, or how did you want to

1 handle that?

2 DR. HERTER: I think it might make sense to go
3 through, since it's not very long, I think we have eight
4 slides to cover the entire draft wording, and then we'll
5 have the longer comments, --

6 MR. ASLIN: Okay.

7 DR. HERTER: -- the prepared comments.

8 MR. ASLIN: Thank you.

9 DR. HERTER: Thank you.

10 Great. Anything else on this slide?

11 Going once, going twice?

12 Great, okay, let's move onto the next. So here is
13 where it starts to get a little sticky. Marginal costs and
14 rates. Marginal costs were defined in the original Load
15 Management Standard. And we think it's time to sort of
16 update what that might mean. This is still a work in
17 progress. Again, we're very much open to suggestions on how
18 we might improve this.

19 Right now we're using wording from the California
20 ISO that says marginal costs are defined as the costs in
21 dollars per megawatt hour of serving the next increment of
22 electricity of demand in the relevant load area, consistent
23 with existing grid constraints and generators' ability to
24 deliver energy to meet that demand.

25 In the original, Section 1621, which is the

1 General Provisions of the Load Management Standards, it was
2 defined as "The change in current and committed future
3 utility cost that is caused by a customer-initiated change
4 in electricity usage. Total marginal cost may be divided
5 into the commonly-known categories of marginal energy,
6 marginal capacity, and marginal customer costs, or any other
7 appropriate categories."

8 Now the final might be amended to use the
9 California ISO wording. It might -- we might merge the two,
10 but I wanted to get input from folks here and online to see
11 if there were any major objections to either of those
12 definitions or whether there was input on which portions are
13 most important to include in the updated version, and any
14 other issues.

15 MR. BRAUN: This is Tony Braun on behalf of CMUA
16 again. A couple questions. When you say ISO wording do you
17 mean it came from the ISO or that it just references what
18 appears to be the ISO's market?

19 DR. HERTER: It came directly from the ISO.

20 MR. BRAUN: Okay. In thinking about the concept
21 of marginal cost, I mean most of the time energy service
22 providers, and I don't mean that in a defined way, undertake
23 risk management and other types of mechanisms to try to
24 hedge volatility of what might be the real-time prices that
25 they're experiencing. How do you envision that type of

1 activity working here? Because you're going to have a lot
2 of cost, actual costs that go into the risk management
3 practices that tend to blend the more granular price
4 signals. So help me understand the thinking in that regard
5 and how that went into the development of this definition.

6 DR. HERTER: Well, we're trying to leave it
7 sufficiently broad to allow a lot of flexibility on the side
8 of the utilities and the service providers to manage that
9 risk in a way that is appropriate for their service
10 territories.

11 MR. BRAUN: I think as we study the language more
12 closely, that's something that I think we might raise in
13 rate comments is that -- I would actually expect every
14 energy service provider that's actually doing their job to
15 engage in these risk-hedging type of activities and not
16 expose their customers to the volatility of the real-time
17 price. And so that is obviously going to blunt the
18 potential price signal. And then how do you flow that
19 through to retail rates is something that needs to be
20 carefully considered.

21 DR. HERTER: Sure. And keep in mind that the
22 hourly and subhourly rates that we are hoping the utilities
23 will offer we expect to be voluntary, 100 percent. We don't
24 expect that all -- and so only the customers that want to
25 sign up will sign up and only the customers presumably that

1 have devices that automatically respond will do that.

2 MR. BRAUN: Yeah. I thought through that question
3 and, again, it's pretty complicated and I think we need to
4 give it a lot of careful consideration. The utility is
5 going to be undertaking these price mitigation measures for
6 the whole of their customer base. So once you have opt-out
7 type of provisions, then you get into a rate-design issue
8 about how you're allocating the cost of the risk-management
9 practices that have been undertaken. So it's just another
10 layer to consider.

11 DR. HERTER: Sure. For sure a complicated issue.
12 Anyone else? Sure.

13 MR. JOHNSON: We have a question online, if you
14 want.

15 DR. HERTER: Sure.

16 MR. JOHNSON: We have a question from Madeline.
17 Go ahead.

18 MS. FLEISCHER: Okay. Thank you. Just a question
19 on the marginal costing, and this may be something that's on
20 whether to amend the definition to match up the type of --
21 which is whether you guys are securing the fiscal carry over
22 to negative pricing to customers. I think in terms of --
23 you know that the ultimate goal is automating some of the
24 load flexibility with the system would probably be a good
25 idea, but I wasn't sure what you guys would do about that.

1 MR. JOHNSON: Madeline, can you also introduce
2 yourself, please?

3 MS. FLEISCHER: Oh, sorry. Madeline Fleischer
4 with (indecipherable).

5 DR. HERTER: So the question was on negative
6 pricing? So any details like that, we would -- that's a
7 ratemaking issue, and we, the CEC, is at this point has no
8 plans to get into ratemaking itself, other than setting very
9 basic, foundational goals. The details of ratemaking, such
10 as how to price negative, you know, costs is a little bit
11 beyond what we hope to do here.

12 We expect that that would be addressed by the
13 utilities as they created their own rates and submitted them
14 to the ratemaking body.

15 MR. JOHNSON: Thank you. I think we have another
16 question too from Barbara. Let me just check that.

17 Barbara, do you have a question?

18 DR. BARKOVICH: I do now. Thank you very much.
19 Sorry. Yeah, I think the concern we have with the CAISO
20 dollar-per-megawatt hour is the fact that that's not the
21 only marginal cost. Not all marginal costs are volumetric.
22 I think that Paul Nelson has submitted comments before
23 noting that there are marginal costs that are capacity
24 related and per-customer related, as you had in the original
25 definition. And if you used the CAISO definition, CAISO

1 right now, although it's going to change with the
2 Transmission Access Charge, only does have the volumetric
3 costs, but that doesn't mean it's the only one that exists.
4 In fact, it's part of the Transmission Access Charge; they
5 intend to introduce a dollar per kW as well as a dollar per
6 kWh metric.

7 DR. HERTER: Okay. Thanks, Barbara. Would you be
8 willing to submit your comments in writing as well so we can
9 take a look at that and get back to you on that?

10 DR. BARKOVICH: Yes, we will.

11 DR. HERTER: Thank you.

12 MR. JOHNSON: And can you also just introduce
13 yourself for the --

14 DR. BARKOVICH: I'm sorry. Barbara Barkovich for
15 CLECA.

16 MR. JOHNSON: Awesome. Thank you so much.

17 MR. ORSINI: Lawrence Orsini with LO3. So the
18 point that customers are also going to be service providers
19 in this framework if they have devices that can respond to
20 provide service to the network, so it might be worth
21 thinking through a bit how we classify customers in this.

22 DR. HERTER: So we'll take another look at the
23 definition of customers and of service providers.

24 MR. ASLIN: So this is Richard Aslin from PG&E.
25 So I'm just looking at this definition and I have to say

1 that PG&E hasn't put a lot of thought into this part of it
2 so far, but I think it's not either/or. I think it's both.
3 What you're looking at here is essentially the ISO
4 definition is looking at the intra day incremental cost,
5 whereas the prior definition is really looking at things
6 that are more like medium-run marginal cost and long-run
7 marginal cost that have to do with infrastructure build-out
8 to serve load.

9 So it's really kind of a combination of what it is
10 that you're really looking to get out of these tariffs. If
11 you're just looking to get out of these tariffs some sort of
12 like a load-modifying demand response for the very short
13 term, then the ISO decision -- or definition is probably the
14 closest to it. But if you're looking to do something more
15 holistic that is going to influence demand over a longer
16 period of time, then you probably need to think about the
17 medium-run marginal cost and the long-run marginal cost and
18 how that plays into it.

19 DR. HERTER: Great. Thank you. That's very
20 helpful.

21 Anyone else?

22 All right. I think we are in...

23 All right. There's a short section on retail
24 rates that says "To ensure efficient economic signals
25 required for optimal load management, all retail electricity

1 rates shall be based on the marginal costs of electricity
2 and shall recover the costs associated with the set of
3 customers who elect that rate."

4 This is taken from the existing standard. It's
5 revised slightly, but generally these words are already in
6 the existing code. But we'd like to hear feedback on this
7 set of draft language; or if everybody thinks they're great.

8 (Laughter.)

9 MR. ASLIN: Well, just -- Rick Aslin again for
10 PG&E. So I think it's just really important to understand
11 that based on marginal costs is a key thing there. Right
12 now I don't believe that a rate that was purely based on
13 marginal costs would recover the revenue requirement for the
14 utilities because we have so much in the rates that's not
15 marginal cost based. For example, depreciation of the prior
16 investments.

17 So it's just really important that people
18 understand that if you had a marginal cost rate, that would
19 either over collect or under collect the actual revenue
20 requirement. So it needs to be adjusted in some fashion.
21 And how much adjustment there is is going to really impact
22 how much impact the signal will actually have on changing
23 customer behavior.

24 DR. HERTER: Um-hum.

25 MR. TAYLOR: I think it's important to emphasize

1 that the goal is not necessarily to change customer behavior
2 but rather to provide a signal for devices to automate the
3 behavior that customers want to see. So the size of the
4 signal going back decades, you know we were looking at
5 ensuring that the price on the peak was high enough that it
6 would change customer behavior, but I think that this has
7 changed significantly. Now we're just trying to provide a
8 clear signal to the devices so that they can automate the
9 needed behavior that the customer wants to see.

10 MR. ORSINI: I think the customer change might
11 actually be interest in acquiring devices that could respond
12 to the signal, so I'd have to agree with the benefit where
13 we look at customer behavior as well. If we're going to
14 incentivize flexibility at the edges of the network, that
15 needs to be a focus.

16 MR. TAYLOR: Incentivization would be great. This
17 is simply trying to enable, and then we'll get to the next
18 step next.

19 MR. JOHNSON: We have some -- Barbara Barkovich.

20 DR. HERTER: Go ahead, Barbara.

21 MR. JOHNSON: Go ahead, Barbara.

22 DR. BARKOVICH: Sorry. Barbara Barkovich for
23 CLECA again. I mean I think Rick's point is well taken
24 which is that marginal-cost based rates, if you're only
25 recovering the marginal cost will not recover the revenue

1 requirement.

2 I think there's also a nuance to the line that
3 reads, "Costs associated with the set of customer" -- "Costs
4 of" -- sorry -- customers who are on the rate, because you
5 have to think about whether what you're trying to do is
6 induce marginal behavior or whether you actually want to
7 have cost-based rates. Otherwise you can get into the issue
8 of cross-subsidies.

9 So it's one thing to be sending a signal at the
10 margin for incremental use and another thing to be setting a
11 rate such that the customers on the rate will not recover
12 their full cost of service. And, you know, that's a
13 longstanding debate that's gone on.

14 But one of the things that's happening now is
15 recognizing the fact that if you create rates for customers,
16 for example, with certain technologies, you want to make
17 sure that those rates recover the costs from those customers
18 and that other customers who don't have the technologies,
19 they're not picking up the difference.

20 MR. JOHNSON: Okay. Thank you. Thank you.

21 We also have a question from George.

22 George, go ahead.

23 MR. NESBITT: Yes. George Nesbitt. I'm a HERS
24 rater and we work in the capacity of working with consumers.
25 And so I'm going to speak from a consumer perspective and as

1 a consumer.

2 And so it's the retail rate that we see and that
3 we may or may not make decisions based on. And so I think
4 with all the issues we face, trying to get to higher
5 penetration renewables, we've got curtailment, you know
6 there's carbon emissions, there's all these things the
7 customer may not know about, may not care about, all they
8 see is the rate. So we need rates that send the signal to
9 the customer when to use energy, in general. And in
10 specific there may be times to use more or less, and that
11 could be automated or it could then be a manual consumer
12 choice.

13 So I think if you tie -- I think the Energy
14 Commission needs to think about what are the goals of load
15 management, how does it support increasing renewable
16 penetration on the grid, reducing carbon, but I think that
17 if you only constrain it to one metric on the utility side,
18 marginal cost, I don't know, I'm not an expert on all the
19 utility side and everything, but you're probably going to
20 get the wrong answer.

21 I think what you probably care about is how are
22 these various rates -- how are the utilities -- what factors
23 are they using to develop them, and then are those rates
24 sending the signals that you want, that we need.

25 MR. JOHNSON: Okay. Thank you.

1 MR. ASLIN: If I could offer one just final thing,
2 just picking up on the idea that these would be voluntary,
3 rate programs that people subscribe to, my sense of it is
4 that if these are going to be voluntary, the signal will
5 have to be very strong in order to induce people to do this
6 on a voluntary basis. I think that's been our experience
7 with voluntary rates previously.

8 DR. HERTER: And that makes sense and it's an
9 issue that we have been thinking about. It's a difficult
10 one. Thank you.

11 MR. RICHARDSON: Can I quickly add something to
12 that?

13 DR. HERTER: Sure.

14 MR. RICHARDSON: This is Henry Richardson from
15 WattTime. We just want to put in a piece that understanding
16 customers' motivations may be beyond price, and so health
17 damages or CO2, so that we're speaking to the original goal
18 of the program, which is helping to create more renewables,
19 not purely as rates but as doing something else, may be an
20 important piece.

21 MR. ASLIN: Yeah. So -- again, Rick. Yeah.
22 Thanks, Henry, for bringing that up, because I was also
23 going to say that this will probably require a very
24 significant marketing, education, and outreach effort that
25 we need to be aware of and we need to be aware of the cost

1 of having that sort of effort. It will take a lot of effort
2 to make people aware that these rates are out there, why
3 they're out there, and what the implication of subscribing
4 to that rate and acting according to that rate will be.

5 MR. RICHARDSON: And to go -- sorry. I'm going to
6 go back a slide mentally to the marginal costs, because
7 we've kind of been talking about rates and how consumers use
8 them, but if we think about marginal costs there are
9 societal costs and social costs to CO2 and other pollutants.
10 If you're reducing load on a Central Valley powerplant
11 that's polluting the local community, you see benefits
12 beyond the costs that we're seeing in the retail or the
13 wholesale definition of marginal costs, whether that's
14 capacity or energy.

15 DR. HERTER: Thanks, Henry.

16 MR. RICHARDSON: I guess that would be any other
17 appropriate categories captured but not explicitly stated in
18 the last slide.

19 DR. HERTER: Great. Anything else on this topic?

20 All right, let's move on then. Okay. The next
21 section, number 2, describes real-time tariffs as a tariff
22 that incorporates a retail electricity rate that updates at
23 least hourly. I think people throw around the term real-
24 time rate, real-time tariff quite a bit, and people have
25 different ideas of what that might mean. From our

1 perspective it's generally an hourly, 15 minutes, or 5
2 minutes, I think that's the standard. So based on day ahead
3 or realtime energy market prices, one of the questions that
4 we have is: Do we need to clarify this further? Do we need
5 to say, for example, if it's based on the local balancing
6 authority, which was one suggestion provided by a
7 stakeholder.

8 Any comments on that?

9 MR. BRAUN: Hi. This is Tony Braun on behalf of
10 CMUA. I think I'd like to give this some further
11 consideration and consult with our members. Obviously the
12 balancing authority areas have different operational regimes
13 and their exposure to the ISOs real-time and they had
14 pricing regimes that are different. But even within the
15 ISO, load-serving entities take on various differing
16 investments. And so, therefore, their exposure and to the
17 real-time prices differs from entity to entity. And so I
18 think we need to be careful about creating one definition
19 that is attempted to apply to all. We may have an entity,
20 for example, that is long in hours, in which the grid is
21 actually increasing, trying to stimulate demand. So this
22 requires a lot of consideration. I think BA, Balancing
23 Authority, area distinction is probably a helpful one, but
24 may need to go farther than that.

25 DR. HERTER: Great. Thanks, Tony.

1 Anyone else?

2 MR. ORSINI: Lawrence Orsini again. I think that
3 when we consider how devices are making the edge of the
4 network a lot more frothy and the need, actually, the
5 reduced inertia that's caused by that in the network, I
6 think moving to the fastest signal possible is going to
7 provide the fastest response possible from devices at the
8 edge of the network. I'd strongly encourage us to get as
9 fast as possible. And not stand by in an hour, or 15
10 minutes, or whatever it might be, but, you know, what
11 devices can respond to that. Because setting the standard
12 for this today, it's probably not going to be relevant as
13 the devices start to respond more quickly.

14 DR. HERTER: Agreed. And of course the trade-off
15 is, you know, how much more difficult is that to do from a
16 technical standpoint and from the utilities standpoint. If
17 they can do it every -- can they do it every five minutes or
18 one minute, or should they start -- we want to get
19 something, you know get us moving in the right direction.
20 So we don't want to make this so strict that it's not cost-
21 effective. So to the extent that we can do it at five
22 minutes and it's still cost-effective.

23 MR. ORSINI: I propose that from a cost-recovery
24 perspective that actually there is a metric tied to the
25 speed of the signal so that if you have devices that can

1 respond more quickly you're actually paid for that faster
2 response because you're actually going to receive, you know,
3 the economic benefits of that faster response as well, which
4 would then align the utilities with economic incentive with
5 providing a faster delivery of that data.

6 DR. HERTER: Agreed. Thank you.

7 MR. JOHNSON: We have a question online. Let's go
8 to it.

9 Hi there. Ed, go ahead.

10 DR. CAZELET: Thank you. Ed Cazelet from TeMix.
11 The language here that says the retail electricity rate
12 updates at least hourly, perhaps isn't clear enough. If we
13 look at how the CalISO updates, it's locational marginal
14 prices, they do hourly for the next 24 hours or next day,
15 perhaps each day about 1:00 or 2:00 p.m. And then there
16 will be 15-minute LMPs published before each hour. And then
17 there's further five-minute updating. So it's not quite
18 clear what is meant by a rate that updates at least hourly
19 here.

20 And if a customer commits to an hourly rate day
21 ahead, how do they participate in, say, the 15-minute or 5-
22 minute realtime prices if that's what they want to do, if
23 they've already elected the day ahead price?

24 DR. HERTER: So again we're being intentionally
25 vague in a sense. We're saying it has to be at least one

1 hour. The utility certainly has the option to do 15 minute
2 or five minute. But if the customer wants it and the
3 utility doesn't have it, I mean even now that's a problem,
4 right?

5 I think what we're hoping to do is to put a
6 threshold and say at least let's have hourly rates.
7 Ideally, we want 15- or 5-minute rates, or whatever we can
8 do, and it's cost-effective and the customers and their
9 devices can respond to it. But just draw the line in the
10 sand somewhere. And so we are proposing that we draw the
11 line at one hour. But of course the utilities can do 15, 5,
12 1, whatever it is that they'd like to do.

13 MR. ASLIN: Yeah. So Rick Aslin again for PG&E.
14 So, yeah, I think we need to keep in mind that it's more
15 than just the signal. If it was just sending the signal and
16 the device is acting on signals, five minutes might be
17 possible, but now you're talking about driving this all the
18 way through a billing system and generating a bill in a
19 timely basis and being able to have all the support services
20 to bill on the five-minute intervals. I think that's --
21 that's going to be a very expensive proposition. So I think
22 PG&E would like to keep, you know, the hourly as kind of the
23 -- that's what you need to do. And anything below hourly is
24 what you can do reasonably.

25 And if we're ready to go that second, the second

1 part of it, the second bullet about the locational
2 granularity, I think that's the more problematic. But --

3 DR. HERTER: Sure.

4 MR. ASLIN: -- do you want to move to that now or
5 --

6 DR. HERTER: Yeah, let's move to that. Sure.

7 So the second part of this definition is, "And
8 electric distribution conditions to reflect marginal costs
9 at the" -- and then it's sort of a blank. We don't know how
10 to define the granularity, locational granularity. And so
11 the question is: Do we do it at the Zip code, do we do it
12 at the Zip code plus four, do we do it at a transformer,
13 something that's related more to the utility side or
14 something more that the customer will understand?

15 So when we say Zip code, we think, well, the
16 customer will know very easily. If they have a device that
17 they need to say where they are, they might know their --
18 probably will know their Zip code. They might know their
19 Zip code plus four. They won't know which transformer they
20 are on, and so that might be more difficult if there needs
21 to be input from the customer side. But from the utility
22 standpoint, it might be simpler to talk about transformers
23 or substations. And so I was hoping to have a conversation
24 about how do we define locational granularity to help us
25 send out the prices to an area that helps manage loads where

1 it's needed.

2 MR. ASLIN: Well, just for some context. So PG&E
3 has 800 substations and we have 3,200 substation
4 transformers. So if you took that and you had a five-minute
5 rate, I mean that's an exponential calculation there. So
6 you'd have millions, maybe even hundreds of millions of
7 actual rates being sent out -- if you took it to that level
8 of, let's say, the substation transformer.

9 And also many, many times these signals are going
10 to be in conflict with each other. So, for example, if
11 you're on a circuit which is near its loading capacity and
12 that circuit is serving commercial customers, likely the
13 high loading is going to be in the middle of the day. So
14 you're going to be signaling people "don't use energy". But
15 then on the generation side, you're going to be signaling
16 "please use energy". So how are we going to resolve that
17 conflict?

18 There will be many, many conflicts between these
19 two signals.

20 DR. HERTER: Right.

21 MR. TAYLOR: And resolving that value stack, I
22 think is one of the primary purposes of what we're trying to
23 accomplish here.

24 DR. HERTER: It is. We're hoping to, again, get
25 folks thinking about this. I know there are a lot of folks

1 thinking about this already, and sort of pushing them in the
2 direction of solving these problems. We know that not all
3 of the problems had been solved yet, but even in the process
4 of creating these regulations it's not like this would
5 happen tomorrow. You know, even if we put this in the code
6 today it's going to be a couple of years before anyone would
7 have to respond to it. So we have time, is the good news.

8 MR. ORSINI: If I might. Lawrence Orsini. I
9 think it -- a lot of it depends on what problem you're
10 trying to solve through the rate structure. So if you're
11 trying to solve a carbon problem, and it's pretty ubiquitous
12 then you have very slow signals for those sorts of things.
13 It doesn't change carbon intensity on the network, it
14 doesn't change that rapidly. If you're trying to solve a
15 grid stability problem, then you need fast signals. So you
16 don't need fast signals from everywhere on the network, you
17 need those fast signals from the places on the network that
18 are constrained or under strained or under served at that
19 moment.

20 So maybe building in a differential where the
21 consumer that is in those constrained areas sees that system
22 benefit that they can provide and can respond to it.
23 Because you don't need the consumer to respond when it isn't
24 necessary for the network.

25 Back to your point about, you know, the billing

1 issues, there are distributed ledger technologies out there
2 now that can solve some of those problems at a pretty fine
3 level of granularity. So I think by the time this gets
4 deployed and goes through its next iterations, those are
5 going to be less important.

6 DR. HERTER: Thank you. And as for which problem
7 we're trying to solve, I think we want to solve them both,
8 ideally, --

9 MR. ORSINI: Understood.

10 MR. JOHNSON: -- or all of them.

11 MR. ASLIN: Well, so maybe we could talk about the
12 timing a little bit later, but my understanding was that
13 part of the timing was that we would need to submit these
14 proposals in the next couple of years.

15 DR. HERTER: Yes. That's the draft language right
16 now, has -- we'll get to it, but it's, I think, 2023 is the
17 first date --

18 MS. [SPEAKER]: 2022.

19 DR. HERTER: Is it 2022? 2022, so, yes, a couple
20 of years.

21 Any other recommendations, suggestion, ideas on
22 locational granularity?

23 Great.

24 MR. JOHNSON: Go ahead, Ed.

25 DR. CAZELET: Ed Cazelet, TeMix again. So if the

1 customer registers for a rate, selects a rate, he doesn't
2 really need to know whether it depends on a wide area or a
3 very narrow area. And that can evolve over time as the
4 signals get more granular. So if we're electronically
5 communicating the rates to the customers, he doesn't need to
6 know exactly how he's connected to a particular location.

7 MR. JOHNSON: Thank you.

8 DR. HERTER: I think the thought there is that if
9 -- let's say I'm a commercial customer and I want to
10 participate in a real-time tariff, so I buy a system that
11 responds, it seems like I would need to tell that system
12 where to go, how -- how to find -- again, this is a
13 technical issue, but I think it's one we need to keep in
14 mind.

15 If it's a utility program and the utility provides
16 the technology, then, yes, then the technology will already
17 know where it is in the system and where to find the signal,
18 but if I'm buying something off the shelf at Home Depot, I
19 need to tell it something in order to link me up to my rate.

20 MR. ASLIN: Well, I'm just going to say -- again
21 this is Rick Aslin from PG&E -- that we need to -- we need
22 to think beyond the signal. I don't dispute that you could
23 send signals and that devices can act on signals, but when
24 you tie it to a rate, that brings in a whole lot of other
25 elements, for example, equity.

1 So if I happen to be a customer and I happen to be
2 on a constrained circuit, should I be paying more for my
3 electric service than someone who just happens to be located
4 on a circuit that has plenty of capacity left on it?

5 Just a question.

6 MR. ORSINI: Yeah. No, just since this is a
7 workshop, it's probably -- so maybe it's best to -- I look
8 at this like it's a two-sided market. So, yes, you might be
9 willing to pay more, but your services are also going to be
10 more valuable where you have that problem. So when you
11 think of value stacking, right, so if we've got carbon is
12 the highest value, we've got grid resilience you know as
13 some of the deepest, most embedded value, and the hardest to
14 get to in the network, then sending that layered signal out
15 so that as a consumer I can respond to gross value, like
16 carbon intensity, or I can respond to an immediate value,
17 where I am on the network at this moment, and be able to
18 provide services that support that patch of network.

19 When I think about how this might affect from a
20 ratepayer perspective, the rest of the population around
21 them, again, they're providing grid services that could be
22 doing things like preventing a blackout or solving
23 congestion in the network, that's creating a grid-effective
24 network.

25 MR. ASLIN: Okay, well, thank you for that. I

1 think that is a good clarification, because what you just
2 described doesn't seem to actually be a rate. It's a
3 procurement of a service. A rate is where -- and especially
4 rates based on marginal costs would be where at least
5 traditionally where we're trying to collect a revenue
6 requirement that was incurred to build infrastructure to
7 serve the demand, so the customers -- and what you're
8 talking about is more -- there's like a procurement tariff
9 that's available to procure these services from customers.

10 MR. ORSINI: Could be. I think this also fits
11 into a rate perspective as well. I think the values in that
12 value stack could actually be built into the rate itself,
13 that the consumer is standing on a level playing field with
14 the utilities to provide these services.

15 I'm a big proponent of performance-based
16 compensation for utilities and really focusing network
17 utilization, using a rate to solve some of these problems by
18 exposing the consumer to the cost and benefit of these helps
19 drive some of that.

20 MR. JOHNSON: Go ahead, George.

21 MR. NESBITT: Yes. George Nesbitt, HERS rater.
22 So the rate and the signal aren't necessarily directly
23 connected -- or don't necessarily have to be connected. As
24 a customer I get a signal and I'm either going to
25 automatically or manually respond to it. And where I am,

1 I'm going to get that signal based on where I am. And
2 there's a lot of systems: OhmConnect, you've got, you know,
3 Nest thermostats, Ecobee, there's various others. And they
4 have a connection to you. They know where you are. They
5 are getting signals from the utility and they know who to
6 send out the signal to.

7 When we have something like a statewide Flex Your
8 Power Alert, that's kind of broad, and people respond to it.
9 Now whether their response actually really helps with
10 whatever the problem is, maybe or maybe not. So I think we
11 have the technology to send signals to the class of
12 customers to get the response when and where we need it.

13 So if a commercial, a high commercial user really
14 needs to use less, they're going to get that signal. But if
15 other people in other places need to use more, they should
16 be able to get that signal. As a customer I don't really
17 care what level that is. I'm just going to get the signal
18 and I'm going to respond or not. So thanks.

19 MR. JOHNSON: Thank you.

20 Next we have Ed.

21 DR. CAZELET: Ed Cazelet again from TeMix. The
22 issue of how do we have very -- highly variable tariffs and
23 how do we deal with the equity problem of, for instance,
24 some customers are being high priced because they're in the
25 congested line is at least partially solved with a two-part

1 subscription type tariff. It's similar to what SCE has
2 proposed in the workshop and what TeMix and others tested
3 during the Retail Automated Transactive Energy System Pilot
4 funded by EPIC.

5 The idea there is customers subscribe to a
6 pattern, a profile of electricity consumption at a fixed
7 annual, fixed monthly cost. And then for deviations from
8 that, they pay the hourly, 15- or 5-minute price, and -- or
9 they get paid that if they use less. What it means from an
10 equity point of view is you can provide lower subscription
11 cost to customers but still give them the opportunity to
12 save at high prices or purchase at low prices, where the
13 opportunity arrives for them using optimization.

14 And, again to repeat, it allows you to create the
15 kind of very highly variable real-time pricing that can
16 reflect negative prices all the way up to situations where
17 we have very high ramps and the prices might be equivalent
18 to thousands of dollars per megawatt hour, without inducing
19 a large variability in customer bills or utility revenues.
20 Thank you.

21 MR. JOHNSON: Thank you.

22 DR. HERTER: Okay. Unless there are any
23 objections, I think we'll move on. We're about halfway
24 done.

25 All right. Here are the dates that we're

1 proposing that utilities submit rates: By July 2022 and
2 2023 -- and/or, I should say. So both of these are in there
3 right now, with the idea that if the universal real-time
4 rate, which is defined as one rate, and it doesn't matter
5 what kind of customer you are, it only matters where you are
6 and when you use it, if that's an idea that is too difficult
7 to do right away and we need to start a little simpler with
8 something for each sector, then we can have this sort of
9 shorter-term goal of 2022. We just have an hourly rate for
10 each sector. And then sort of brainstorm how do we start
11 moving towards a rate that would be applied to any customer
12 in the same time and the same location.

13 So I'd like to get input on what do people think
14 about -- so I'd had conversations with some stakeholders on
15 the idea of moving towards a universal real-time rate as a
16 way to simplify tariffs for utilities. Right now, of course
17 there are hundreds of tariffs. It's very complicated. One
18 potential way to simplify them to start using marginal cost
19 rates based on time and location. Is that something we can
20 do? Is it something we should do? And, if so, how hard
21 would it be, and can we do it by 2023?

22 Thoughts?

23 MR. ASLIN: So Rick Aslin again for PG&E. Our
24 thinking here is that these deadlines are a little too
25 aggressive given all of the concerns that will arise during

1 the workshops and the conversations that we'll inevitably be
2 having over the next couple of years.

3 I think our preference would be that the language
4 be changed to start up something that looks a lot like the
5 statewide pricing pilot that was run prior to the rollout of
6 the TOU rates. I think that was very instructive and it did
7 allow for the testing of many different designs of the
8 tariff. And of course it's voluntary. You have to
9 volunteer to be part of that pilot. And also it spans
10 across the IOUs and the many other load-serving entities
11 that are now in California. So we have all the CCAs and we
12 have the municipal utilities, we have irrigations districts,
13 we have direct-access providers. You know we have a whole
14 multitude of entities that are serving load now.

15 So I think just focusing on the IOUs is not going
16 to be the best solution. I think the better solution would
17 be let's all engage in a pricing pilot that takes place over
18 a few years and let's look at the results of that and then
19 let's decide what to do.

20 DR. HERTER: Okay. I have a couple of clarifying
21 questions on that. When -- well, when you say a pilot, how
22 is a voluntary rate different than a pilot?

23 MR. ASLIN: So the objective of the pilot would be
24 to understand how different customer classes will respond to
25 various designs of a rate. So the very purpose of the pilot

1 is to understand. It's a study that takes place so that we
2 can understand how customers will respond. What will the
3 uptake be, how do customers like being on these rates, what
4 are the unintended consequences of these rates, what rate
5 designs work for which populations, and things of that
6 nature.

7 If it's just proposing a rate that would actually
8 go into place and customers would actually be billed on,
9 then that is a much riskier proposition for customers and
10 for the utilities and for any load-serving entity who is
11 engaging in these rates.

12 DR. HERTER: So is the difference then that they
13 would actually be billed on them in a real tariff, and in a
14 pilot that would not be an actual bill or...?

15 MR. ASLIN: Yeah. So generally for PG&E at least
16 when we run a pilot, yeah, we're not running the whole thing
17 through our existing billing system and our existing, you
18 know, IT infrastructure, which takes a lot more time and
19 money to integrate all these things into those larger
20 systems.

21 DR. HERTER: So the main difference from your
22 point of view would be the billing issue and the billing
23 system?

24 MR. ASLIN: It's billing and it's all the IT
25 infrastructure that would be required in order to support a

1 certain rate design. So we don't want to build that all out
2 and then have a rate design that doesn't work. It'd be
3 better to pilot a number of different rate designs, figure
4 out which one will work, and then adopt that, and then you
5 can build that into your existing infrastructure for all
6 your IT and for your billing.

7 DR. HERTER: Thank you.

8 MR. BRAUN: Can I ask a clarifying question? So
9 that's intriguing. Would you still have binding financial
10 implications for the entities that are participating in the
11 pilot?

12 MR. ASLIN: That would be a question for the
13 pilot-design team.

14 MR. BRAUN: Yeah.

15 MR. ASLIN: So the way the statewide pricing pilot
16 was run before the time-of-use rate rollout, there was a
17 whole governing structure around that. So there were a lot
18 of committees and things like that that worked on the design
19 and then worked the whole thing through to the end. And at
20 the end, I think it was beneficial to have done that because
21 we much more understood what the actual impacts of the time-
22 of-use rates were going to be and that if they were
23 voluntary versus let's say mandatory, what the difference
24 was going to be with that.

25 MR. ORSINI: I might submit that technology is

1 going to force the needs and change for the IT
2 infrastructure upgrades anyway, as well as the needs for the
3 -- the need to start adapting billing systems. Because
4 you've got consumers who are now prosumers. You've got a
5 lot of reactive and transactive devices that are showing up
6 at the edge of networks. That's not going to stop. It's
7 being driven by consumer choice. So I don't see a real
8 purpose in delaying from a cost perspective doing those
9 upgrades because in the foreseeable future I don't think
10 we're going to see fewer transactive or reactive devices at
11 the edge networks, we're going to see more.

12 MR. JOHNSON: Tamara, go ahead.

13 MS. DZUBAY: Hi. My name is Tamara Dzubay. I'm
14 the Regulatory Affairs Manager at Ecobee. And I just wanted
15 to kind of chime into that point because we did a really
16 large study this past summer where we actually offered time-
17 varying rate optimization to a large pool of our customers
18 in California. And one barrier that we saw was just lack of
19 customer education on the name of their tariff. So even
20 when they were presented with a list of available time-
21 varying rates in their Zip code in territories where we know
22 there is almost a hundred percent of people on time of use
23 already, it was really just a minority of customers that
24 could identify the name of their tariff. And so it's been
25 thinking through like how could IT infrastructure help solve

1 that, potentially by using load-management providers
2 databases that could compare to utility customer-information
3 systems. It would really help scale cost-effective load
4 management and reach a lot more people.

5 I just wanted to make sure that all the
6 stakeholders are aware of this research that we have. And
7 as we start the conversation around how would IT
8 infrastructure need to change to allow for it, just the
9 thing to point to when you're thinking about like what is
10 the level of awareness of the actual customers' awareness of
11 their tariff name.

12 MR. JOHNSON: Thank you.

13 Let's see here.

14 DR. HERTER: Can I -- I'd like to ask a follow-up
15 question on that.

16 MR. JOHNSON: Oh, sure, go ahead.

17 DR. HERTER: So are you suggesting that customers
18 get better education or is there another solution to that
19 problem?

20 MS. DZUBAY: So in the case of Ecobee, we have an
21 energy control platform where utilities can see the tariffs
22 that customers selected through our thermostat optimization
23 program called Ecoplus. So one solution that we have talked
24 to some utilities about is if there is a way for them to
25 match in the background those customers' rate selections

1 against their customer information systems so that they can
2 go ahead and verify the rates customers have selected on
3 their devices or correct them if customers have actually
4 entered the incorrect tariff name, or in cases which we saw
5 which was really probably like specifically in SMUD where we
6 know there are a majority of people on a time-of-use rate,
7 we had the majority of people tell us that they're not on a
8 time-of-use rate, and so they left that blank. So in the
9 integration with utility IT infrastructure systems like
10 that, we could help deliver time-of-use optimization to a
11 lot more people by not having to worry about the customer-
12 rate education issue.

13 And we could provide feedback to customers where,
14 you know, we were able to match you with your rate and let
15 them know that, you know, do you want automated load
16 management and you don't know the name of your rate, would
17 you like us to match you with that. Work with your utility
18 to match you with your rate. And so we kind of see that as
19 like a better solution to scale effective load management,
20 because I think that customer education is going to be a
21 barrier no matter how much money is invested in marketing
22 and education programs. I think it's important, but we
23 think at least in the system we have developed, and we don't
24 know of other technology solutions that have attempted to do
25 this by offering customers free time-varying rate

1 optimization, but we think that the more technologies that
2 start to do this, they're going to see the same issues that
3 we have seen, with a lack of customer education around the
4 name of their tariff.

5 MR. JOHNSON: Another. He's on a phone, so I will
6 find him really quick.

7 Okay, go ahead, John.

8 DR. ANDERSON: Thank you. Good morning. This is
9 John Anderson with OhmConnect. We are a third-party demand
10 response provider in the California market.

11 I just wanted to piggyback a little on the prior
12 comment and mention something that we'll flesh out some more
13 in our written comments, but I believe there is a very
14 strong role to be played for third-party implementers in
15 this whole real-time tariff setting. In particular, when I
16 think about all of these systems that the utilities have
17 developed to support the Rule 24 demand response ecosystems,
18 the systems for customers to authorize data sharing to a
19 demand-response provider, it seems to me that many of these
20 systems could lend themselves very naturally to a customer
21 choosing a third-party to help manage their experience on a
22 real-time tariff, whether that's through messaging, data
23 analysis, control of the device, and so forth.

24 And so I want us to be mindful of that for a
25 couple of reasons. I think one, these companies, like

1 ecobee like OhmConnect has proven themselves to be very
2 adept at customer engagement and educating customers and
3 getting them to participate in managing their energy in new
4 ways. But also I think these companies could bear a lot of
5 the cost that might otherwise fall to utilities and to
6 ratepayers, creating customer awareness and recruiting
7 customers onto these rates. So as long as there is a clear
8 business incentive for third parties to support customers'
9 participation in these rates, I think we can lean, in large
10 part, on the third-party ecosystem.

11 MR. JOHNSON: Great. Thank you.

12 MR. ORSINI: Karen, can I ask a question on the
13 first paragraph?

14 DR. HERTER: Yes.

15 MR. ORSINI: Just to the room: What's the
16 practical benefit of developing multiple tariff structures
17 per sector? Is there a practical benefit to that?

18 DR. HERTER: No?

19 MR. ASLIN: Well, I can say for PG&E we did talk
20 about this a little bit. We haven't given it a lot of
21 thought, but, yeah, we did ask ourselves that same type of
22 question. I mean if you're going to go with this sort of,
23 you know, really almost wholesale change from the current
24 rate architecture, sending -- or having a rate for specific
25 devices might not be the best approach. It might just be,

1 you know, here is the cost to serve you at your location,
2 regardless of who you are. Many of the things that are in
3 the current rates, they're in there for noneconomic reasons.
4 They are in there for reasons of equity. They're in there
5 for reasons of social policy. Those are all very, very
6 legitimate and good things. So we need to be careful that
7 we're not getting into unintended consequences by moving to
8 this more like pure economic signal sort of point of view,
9 that we're not losing all of the other things which
10 ratemaking has encompassed over the last many decades to
11 serve customers and Californians.

12 With respect to what John was saying from
13 OhmConnect, I mean I think that is another thing that we
14 could study in the context of a pilot, is who is delivering
15 the various services that are helping customers to manage
16 these more dynamic rates. That would be an interesting
17 question to try to work out in the context of a pilot.

18 MR. JOHNSON: Go ahead, George.

19 MR. NESBITT: Yeah, George Nesbitt. The idea of a
20 universal rate of course sounds great. It'd be easy,
21 there's only one rate. But I think, you know, and said,
22 there are reasons why there are different rate for different
23 classes of customers. And we do have different load
24 profiles and there are reasons. And there's probably then
25 different signals we need to send people based on their

1 general class and location. So a universal rate might not
2 actually allow us to do what we need.

3 And I do think we've had plenty of cases where
4 things have blown up, like mandatory time-of-use rates with
5 solar electric. You know we've had problems with our
6 attempts to deregulate the retail side. And so ratesetting
7 is hard and the idea of piloting and there are, I think,
8 many ways -- you know, you want to figure it out. And this
9 is a great time for opt in when you pilot and you want to
10 try to figure things out.

11 But I think the lesson overall is opt out gives
12 you far more participation, whether it's saving for
13 retirement or changing to the CCAs, or whatever it is. Less
14 people will opt out than particular will choose to opt in to
15 a system. And we're ultimately going to have to change the
16 majority of people's behavior and use in relationship to
17 electrical consumption in order to be successful. Thanks.

18 MR. JOHNSON: Thank you.

19 DR. HERTER: Okay. Any other comments on this
20 slide?

21 Thank you for all your comments, by the way. I'm
22 taking lots of notes.

23 All right, let's move along then. We're getting
24 near the end.

25 All right then. Public information. So obviously

1 if we have rates that change regularly, we're going to need
2 to publish those rates to customers, to devices. So we're
3 including a section, most of it was already there,
4 "Electricity providers shall ensure that information
5 regarding existing and future rates is accessible to the
6 public and their devices."

7 "Data and Methods." So here's one that's up for
8 comments. "Prior to the fifth business day of each month,
9 retail electricity providers shall submit to the CEC for
10 aggregation and publication a current database of prices and
11 calculations for all approved rates." And again approved
12 rates here are by the rate-approving body.

13 But the question has to do with the comments that
14 I have received from stakeholders that there needs to be a
15 public database of rates that can be accessed by devices.
16 This sort of is similar to the comment about there needs to
17 be a way for the devices -- the device manufacturers to know
18 what rates the customers are on. Where should these
19 databases be stored and what format and by whom? It's sort
20 of an open question.

21 So in the draft language right now I said, well,
22 we're the ones that are creating the problems, so we'll
23 provide the solution. But we're quite open to other
24 solutions, whether there needs to be some other repository
25 for rates that can be accessed by devices.

1 Many of you are probably familiar with the utility
2 rates database that was I think created by NREL and funded
3 by the DOE and it's posted now on OpenEI.org. That rates
4 database is not updated regularly, but something along those
5 lines and something that is a little more flexible to handle
6 day-ahead rates, hourly rates, subhourly rates would be
7 preferable. So -- thoughts?

8 MR. JOHNSON: Go ahead, Ed.

9 DR. CAZELET: Yeah. So for these dynamic rates or
10 prices, at least we need APIs that will either push or allow
11 customers to pull the current hourly or 15-minute prices for
12 their particular location and for their sector if they're
13 sector dependent. A static database of rates might be
14 useful for history or to describe what particular rates
15 you're on. But an API that is machine accessible I think is
16 essential.

17 MR. JOHNSON: Thank you.

18 DR. CAZELET: Thank you.

19 MR. TAYLOR: Are there any manufacturers attending
20 that would care to speak to this? I've had many discussions
21 with manufacturers in the past about the need for this type
22 of a signal. And that's largely at least in part where this
23 language came from, but it would be great to have something
24 on the record. If you're not comfortable speaking, maybe
25 you can submit something in writing.

1 MR. ASLIN: So Rick Aslin, PG&E. My only comment
2 here is that we just need to be very cognizant of the need
3 for cyber security for this sort of application. I mean I
4 would hate to see, for example, someone hack into, you know,
5 a battery storage rate and somehow play around with that and
6 then have all of the battery storage devices like either
7 charging or discharging at the same time causing havoc on
8 the system.

9 So long as we're very cognizant of the cyber
10 security issues associated with this and those are
11 addressed, I think the idea of having a central repository
12 for rates is fine.

13 MR. ORSINI: Lawrence Orsini. So I don't think it
14 matters where it is. I think it's important for it to be
15 certified, so it needs to be signed, it needs to be
16 encrypted obviously. Having the CEC own it, I don't -- you
17 know, I don't know what that means, so maybe if it's on the
18 CEC's database, it doesn't need to be there, right. I just
19 need to be certification that these are the rates at the
20 right time, that you can verify. So there are plenty of
21 machine ways to do this.

22 DR. HERTER: Okay. Let's move along, unless
23 there's something else.

24 So another way to publish data, we are suggesting
25 that we use OpenADR as sort of a server to server

1 communications and publishing of day-ahead, hourly,
2 subhourly rates. This is an IEC standard. I think that
3 most of California, large California utilities already use
4 OpenADR so we don't expect that this would be much of a
5 burden on utilities.

6 The words in italics there are just words that
7 will probably disappear simply because regulations don't
8 allow for that sort of thing, but any comments on OpenADR as
9 a standard? Objections from utilities on this? Comments on
10 how this could be used, does it negate the need for a
11 central repository because now we have an OpenADR server
12 that can be accessed? Thoughts?

13 MR. JOHNSON: Someone online here.

14 Go ahead, Rolf.

15 MR. BIENERT: Hi, there. This is Rolf with the
16 OpenADR Alliance. Just a quick question. And of course it
17 would be great to hear from the utilities and so on. Of
18 course in my capacity I fully appreciate this here, so thank
19 you for putting it there.

20 I think during the hearing the other day we also
21 mentioned that some of the prices in fact should be
22 broadcast to some extent or just made available. So I think
23 -- Karen, I believe we discussed sort of two ways here,
24 right? A simple publishing pathway, potentially on just a
25 website that can be pulled. And then the more specific

1 price communications using OpenADR here. Is it still the
2 case that we are thinking about these two pathways?

3 DR. HERTER: I'm sorry. Could you ask that last
4 question again? We lost you just for a second.

5 MR. BIENERT: Yeah, absolutely. Yes. Just to
6 lead in again real quick, I think I believe Denver also from
7 SMUD had presented that they are, for instance, testing out
8 publishing prices just simply by posting them on some kind
9 of an API on the website. And then of course OpenADR is a
10 little more specific in its communication with the devices.
11 So the question was: Are we still considering actually both
12 of these pathways?

13 So one would be just simply publishing, and I
14 probably shouldn't say simply because it's published, you
15 know, not that simple. But publish in these prices on an
16 API or website as one pathway. And then again the more
17 controlled, specific way of publishing it through OpenADR.
18 Are those two pathways still being discussed?

19 DR. HERTER: Yes, yes. So that the slide previous
20 to this one was the first simpler way of just sort of
21 publishing it to website or using an API, something along
22 those lines. And then this is the more -- yes, this is the
23 OpenADR version. So those are the two versions.

24 MR. BIENERT: Okay, perfect, yeah. No, I just
25 want to confirm because I think we have some slightly

1 different wording that was earlier discussed. Okay, cool.

2 Thank you.

3 MR. JOHNSON: Thank you.

4 We also have Ed.

5 Go ahead, Ed.

6 DR. CAZELET: Ed Cazelet from TeMix here. So the
7 -- I believe this says that you shall publish all time-
8 dependent rates using this IEC OpenADR standard. The --
9 does this preclude other ways of publishing that the prices,
10 the rates -- but require that you also publish it in the IEC
11 standard? And then --

12 DR. HERTER: It definitely does not preclude
13 publishing it in other ways. This is a minimum standard.

14 DR. CAZELET: Okay. I just point out that the IEC
15 standard is -- it's a very large document, costs about \$400
16 per developer seat -- it's more than 200 pages long. And
17 for the purposes of publishing prices, it's really a large
18 investment, say, for a new CCA or a third-party provider to
19 get involved just for dealing with price publications.

20 And the current IEC standard does not yet and
21 OpenADR does not yet include transactive tenders and
22 transactions. And while the OpenADR Alliance has proposed
23 including these in the OpenADR standard for California, that
24 hasn't happened yet. So the concern here is by restricting
25 or putting so much use on this IEC standard that is large

1 and complex and really was originally developed not just for
2 price publication but event-based demand response, we're
3 just really inhibiting flexibility in how we deploy tenders
4 -- I mean deploy tariffs and restricting I think the
5 flexibility of vendors and utilities and CCAs, that sort of
6 thing, to innovate in their tariffs.

7 I submitted some written comments on this to the
8 CEC website, and they have already been posted. Thank you,
9 Karen.

10 DR. HERTER: Thank you.

11 MR. JOHNSON: Thank you.

12 We have another. Let's go back to John one second
13 here.

14 Go ahead, John.

15 DR. ANDERSON: Thank you. John Anderson again
16 with OhmConnect. I just wanted to add one thought quickly
17 to this line of thinking. Clearly it's very important that
18 the prices for any real-time tariff are communicated to
19 customers or to their devices so that they know when and how
20 much to respond.

21 I'd just like to advocate though for making
22 additional data available to customers or to their
23 authorized representatives so that in addition to
24 communicating prices, it's possible for customers to track,
25 for instance, how much money they're saving over a certain

1 amount of time on these rates compared to, say, their other
2 rate options. So this might involve things like the
3 customer's billing cycle dates, any other pieces of
4 information essentially necessary for the customer or a
5 representative to reconstruct the bill under a real-time
6 tariff as accurately as possible.

7 MR. JOHNSON: Thank you.

8 MR. ASLIN: So Rick Aslin, PG&E. We did talk
9 about this and I think we are of the same mind as Ed, that
10 it's premature to have this language in the tariff at this
11 point in time.

12 MR. JOHNSON: That's it.

13 DR. HERTER: That's it? All right, moving right
14 along then. Public campaign. Of course we need some
15 language about educating customers. We wanted to revise the
16 old language which I believe said "in a reasonable period of
17 time" -- we're not allowed to do. We threw in "30 days" at
18 this point. We're open to suggestions "of adopting a real-
19 time tariff, electricity providers shall launch a public
20 information campaign to inform customers why real-time rates
21 are needed and how participants on real-time tariffs can
22 save money." So this wording has not changed very much from
23 the original with the exception of the 30 days, which is
24 open to discussion.

25 MR. RICHARDSON: This is Henry from WattTime.

1 Could we say "the benefits of real-time rates" or "tariffs"
2 so that -- benefits beyond money. I guess this is minimum,
3 this is a minimum restriction.

4 DR. HERTER: Yeah. No, no, that's a good point.
5 Thank you.

6 MR. RICHARDSON: There may be other benefits, or
7 if utilities want to talk about things other than money.

8 DR. HERTER: Yes, absolutely. Thanks.

9 MR. ASLIN: So Rick Aslin, PG&E again. You know I
10 think the 30 days is unrealistic. If you just think about
11 how much time it would take to develop marketing collateral
12 and to roll out, let's say, some kind of rate or value
13 engine. I mean I'm thinking like a minimum is probably 120
14 days, but 30 days is definitely unrealistic.

15 MR. ORSINI: Just a question. Does this have to
16 happen sequentially or is this something you -- could you be
17 building the campaigns at the same time that the tariffs
18 were actually being developing?

19 MR. ASLIN: Well, you could do it at the same time
20 the same the tariffs are being developed, but you don't know
21 that what will be adopted will be what you proposed. So
22 oftentimes there are, you know, material changes in what's
23 adopted from what was proposed. So this, if we took this
24 literally, once it was adopted we would have 30 days to, you
25 know, roll it out. I'm just saying I don't think that's

1 realistic.

2 DR. HERTER: Great. Thanks.

3 Anyone else?

4 MR. ORSINI: I would agree with OhmConnect. I
5 think that there needs to be a more fulsome list of benefits
6 behind beyond just the dollars and cents. The customers are
7 going to engage with, very few of them care about the few
8 cents it's going to cost, but they care deeply about the
9 impacts it will have in climate and resilience and effects
10 like that.

11 DR. HERTER: Okay. Thank you.

12 Anyone else?

13 Okay, I think the next slide is the last, I
14 believe. Yes. Compliance. So this sentence came directly
15 from a different part of the standard, "Review and approval
16 of submitted tariff and data shall be carried out in
17 accordance with the provisions of Section 1621(d)," which is
18 General Provisions. Of course it begs the question, you
19 know, why don't we go through that here? Much of it is not
20 going to change, but we will be having another workshop in a
21 few weeks. Once we have collected comments and addressed
22 them in the tariff standard, we'll make changes to the
23 tariff standard. And then we'll also bring out Section
24 1621, General Provision, so we can talk about any changes
25 that might occur there. I think we plan to add just a

1 couple of definitions and other very minor changes.

2 MR. BRAUN: Hi, Karen. Tony Braun for CMUA again.
3 This is the source of my prior first question. When I look
4 at 1621(d) and the language here, it looks like the CEC is
5 proposing to act as a ratesetting authority. And so
6 anything that we could do to clarify that between now and
7 the subsequent parts of the proceeding would be helpful.

8 DR. HERTER: Okay, unless there is anything else I
9 think we're going to open it up to just general comments,
10 for the record.

11 MS. ANAISCOURT: Good morning. My name is Dawn
12 Anaiscourt. I'm with Southern California Edison. And I
13 wanted to thank you for the opportunity to comment this
14 morning. I think some of my comments will be reiterating
15 other concerns and issues that have been raised already.

16 But overall Southern California Edison is
17 supportive of real-time pricing designed to communicate
18 directly with devices. This form of rate design can support
19 California's decarbonization objectives because it can
20 potentially optimize the use of electrical devices, such as
21 electric vehicles, home appliances, agricultural pumping,
22 street lighting, and area lighting; and, again, help to
23 reduce customer bills and to more efficiently and
24 effectively manage the grid and generation resources.

25 However, real-time pricing rate structures and

1 rates are actually being explored, to my knowledge, in other
2 proceedings at the California Public Utilities Commission.
3 And they're doing that in order to expand the use of
4 distributed energy resources to meet California's
5 decarbonization goals. So we have concerns with potential
6 proceedings going on at the same time. And so pursuing
7 similar objectives in different venues risks raising
8 confusion and duplication of effort and an inefficient use
9 of resources that California can't afford at this time.

10 So the CPUC efforts will proceed and those results
11 could be leveraged at a later time for other applications
12 such as the uses that the CEC is currently proposing in this
13 rulemaking.

14 In addition, I think this comment was raised a
15 couple of times. The proposed amendment to Title 20,
16 Section 1623 could be read to imply a dual approval
17 structure. And we have concerns that that would need to be
18 coordinated to ensure alignment of priorities at both the
19 CPUC and the CEC, including the successful implementation of
20 default time-of-use rates, which is ongoing; to avoid the
21 imposition of inconsistent or contradictory obligations; and
22 to most efficiently apply agency and stakeholder resources
23 to tariff proposals.

24 Lastly, SCE recommends that all load-serving
25 entities be treated equally, with the same requirements

1 placed on them. This doesn't address the issue of customer
2 that came up earlier, but for load-serving entities, to that
3 end, SCE seeks clarification that "retail electric
4 providers" does in fact refer to all load-serving entities
5 and not just the IOUs and the other municipalities that were
6 named in the notice.

7 Thank you for the opportunity to comment.

8 DR. HERTER: Thank you, Dawn.

9 Anyone else?

10 MR. ASLIN: Yes. So Richard Aslin, Pacific Gas &
11 Electric Company. We will be following this up with written
12 comments also. But, in the main, our comments are very much
13 along the lines of the comments from Southern California
14 Edison.

15 First of all, we did want to thank the Commission
16 for the opportunity to participate today in the workshop.
17 We believe that there are merits in exploring pricing
18 structures that provide customers with economic signals that
19 have greater time and geographic specificity so that the
20 customers can better understand and respond to the actual
21 cost of energy consumption throughout the day, the month,
22 the season, and the year.

23 We are, however, concerned that there needs to be
24 additional coordination between the California Energy
25 Commission and the Public Utility Commission because there

1 are a number of efforts currently underway that are working
2 towards more dynamic rate structures at the Public Utilities
3 Commission.

4 We did also seek clarification on a couple of
5 things. One is what is the definition of the retail
6 electricity provider. Does it include POU's, load-serving
7 entities. Does it include CCAs. Does it include direct
8 access providers. What is the definition of retail
9 electricity provider?

10 And, along those lines, are there jurisdictional
11 issues which need to be resolved prior to implementing this
12 proposed change to the Title 20 Standards.

13 And, finally, we had a couple of recommendations.
14 One was around the timing of the July 1st, 2022. We think
15 that that's not enough time and that instead of having those
16 deadlines what we would recommend is that the Commission
17 consider implementing a statewide pricing pilot and working
18 through that statewide pricing pilot to answer many of the
19 questions that have been raised today.

20 Thank you.

21 MR. JOHNSON: Go ahead, Tamara.

22 MS. DZUBAY: Hi. This is Tamara with Ecobee. I'm
23 sorry. There is a little bit of feedback. I just wanted to
24 highlight that aside from customer education, rate design,
25 and signaling that having a mechanism to match customers to

1 the rate they're on is equally important in order to scale
2 cost-effective load management. We saw this both in our
3 primary research of eco-plus but also in secondary
4 literature regarding California's roll out of default time-
5 of-use rates.

6 MR. JOHNSON: So you know, if you're getting
7 feedback right now you can turn of your speakers that are
8 there where you're at and just go into the microphone. It
9 should work.

10 MR. TAYLOR: And it sounds fine on our end.

11 MS. DZUBAY: Is that okay on your end, though?

12 MR. JOHNSON: Yeah, that's great.

13 MS. DZUBAY: Okay. Yeah. No, so we think that
14 there is an opportunity in moving forward to get some
15 requirements through the load management tariff standard
16 that utilities can work with customer load management
17 providers to establish a mechanism for rate identification
18 and verification.

19 MR. JOHNSON: Great. Thank you.

20 MR. ORSINI: Lawrence Orsini. I'd just like to
21 comment that in order to develop and deploy a rate like
22 this, something that's going to be relatively fast from a
23 transacting perspective, we're going to have to have access
24 to data. I don't know that, you know, data access is or
25 should be specifically written into the rate itself, but I

1 think we're really going to have to solve some data-
2 management problems from, you know, just meter data access
3 to even grid telemetry data access for price formation.

4 DR. HERTER: Can you explain why meter data access
5 is necessary for rate publishing?

6 MR. ORSINI: Well, not for the -- yeah, not for
7 rate publishing but I'm talking about -- what we're talking
8 about is going to require devices to be able to respond. So
9 you're going to need to see from those devices that a
10 response has happened to billing, to your point. But the
11 devices are going to need to see what's happening on the
12 network around them to be able to respond as well. Unless
13 that's going to be reflected in the tariff.

14 DR. HERTER: Well, the utilities have the meter
15 data and so they bill the customer based on that data. So I
16 guess I'm unclear why the devices would need the load data,
17 the meter data.

18 Anyone?

19 MR. ORSINI: No, no. I just think that it's going
20 to be an issue. You know, I can't give --

21 DR. HERTER: Okay.

22 MR. JOHNSON: Go ahead, John.

23 DR. ANDERSON: Hi. John at OhmConnect again. I'm
24 hearing that echo now as well. I'll try to be quick. To
25 Karen's question about why we need the meter data, I don't

1 think it's a matter of the device needing the meter data.
2 But, again, insofar as the customer an authorized
3 representative wishes to calculate the customer's
4 expenditures it's a matter of price times quantity. So the
5 price alone, isn't going to fit the bill, we need price and
6 quantity to estimate what the -- or calculate precisely what
7 the customer's bill is likely to be.

8 Granted, the utility has that data and is
9 ultimately responsible for billing the customer. But to the
10 extent that there is another entity that is managing the
11 day-to-day experience on behalf of the customer, supporting
12 that entity with the customer's permission is able to access
13 all of the requisite data. Thank you.

14 MR. JOHNSON: Thank you.

15 DR. HERTER: Okay. I think that's it on our end.
16 Is there anyone else that would like to provide general
17 comments or anyone online to provide general comments?
18 Otherwise we can head off to lunch a little early.

19 I'm getting a thumb's up.

20 All right. Thank you, everyone, for providing
21 comments, for coming. I appreciate your time.

22 (Whereupon, the Workshop was concluded at 11:44 o'clock
23 a.m.)

24


25

REPORTER'S CERTIFICATE

I DO HEREBY CERTIFY THAT THE TESTIMONY IN THE FOREGOING HEARING WAS TAKEN AT THE TIME AND PLACE THEREIN STATED; THAT THE TESTIMONY OF SAID WITNESSES WERE REPORTED BY ME, A CERTIFIED ELECTRONIC COURT REPORTER AND A DISINTERESTED PERSON, AND WAS UNDER MY SUPERVISION THEREAFTER TRANSCRIBED INTO TYPEWRITING.

AND I FURTHER CERTIFY THAT I AM NOT OF COUNSEL OR ATTORNEY FOR EITHER OR ANY OF THE PARTIES TO SAID HEARING NOR IN ANY WAY INTERESTED IN THE OUTCOME OF THE CAUSE NAMED IN SAID CAPTION.

IN WITNESS WHEREOF, I HAVE HEREUNTO SET MY HAND THIS 23RD DAY OF MARCH, 2020.




SUSAN PALMER
CERTIFIED REPORTER
CERT 00124

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 23rd day of March, 2020.



Susan Palmer
Certified Reporter
CERT 00124