

DOCKETED	
Docket Number:	20-IEPR-02
Project Title:	Transportation
TN #:	233610
Document Title:	Transcript of May 20, 2020 IEPR Update Commission Workshop on Heavy-Duty Zero-Emission Vehicle Market Trends
Description:	N/A
Filer:	Cody Goldthrite
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	6/23/2020 11:34:31 AM
Docketed Date:	6/23/2020

CALIFORNIA ENERGY COMMISSION

COMMISSIONER WORKSHOP

In the Matter of:) Docket No. 20-IEPR-02
)
)
2020 Integrated Energy) REMOTE ACCESS WORKSHOP
RE:)
Policy Report Update) Heavy-Duty Zero-Emission
(2020 IEPR Update)) Vehicle Market Trends
)
_____)

PORTS AND OFF-ROAD EQUIPMENT

REMOTE HEARING

WEDNESDAY, MAY 20, 2020

9:30 A.M.

Reported by:

Martha Nelson

APPEARANCES

COMMISSIONERS

Patricia Monahan, Lead Commissioner

David Hochschild, California Energy Commission (CEC)
Chair

Janea Scott, CEC Vice Chair

Karen Douglas, CEC Commissioner

Andrew McAllister, CEC Commissioner

Fran Inman, Commissioner, California Transportation
Commission

CEC STAFF

Heather Raitt, Assistant Executive Director, Policy
Development

Lindsey Buckley, Communications and Internal Affairs

Harrison Reynolds

MODERATOR

Jeffrey Lu, CEC

PANEL 1

Román Partida-López, Greenlining Institute

Morgan Caswell, Port of Long Beach

Amanda Marruffo, BNSF Railway

Gary Dannar, DANNAR

Dawn Fenton, Volvo Group North America

Niki Okuk, CALSTART

APPEARANCES

PUBLIC COMMENT

Tim Sasseen, Ballard Power Systems

Jaimie Levin, Center for Transportation and the
Environment

Eileen Tutt, California Electric Transportation Coalition

Meredith Alexander, CALSTART

AGENDA

	<u>Page</u>
Introduction	5
Heather Raitt	
Opening Comments	7
Patty Monahan	
David Hochschild	
Janea Scott	
Fran Inman	
1. HD ZEV and Community Equity	15
Román Partida-López, Greenlining Institute	
2. Ports and Off-Road Equipment	40
Moderator: Jeffery Lu, CEC	
A. Morgan Caswell, Port of Long Beach	
B. Amanda Marruffo, BNSF Railway	
C. Gary Dannar, DANNAR	
D. Dawn Fenton, Volvo Group North America	
E. Niki Okuk, CALSTART	
Public Comment	112
Closing Comments	125
Adjourn	125

P R O C E E D I N G S

9:30 A.M.

WEDNESDAY, MAY 20, 2020

MS. RAITT: I'm Heather Raitt, the Program Manager for the IEPR, for today's 2019 IEPR Commission -- excuse me, 2020 IEPR Update Commission Workshop on Heavy-Duty Zero-Emission Vehicle Market Trends.

I'll quickly go over some housekeeping items before we begin.

Today's workshop is being held remotely, consistent with the Executive Orders N-25-20 and N-29-20, and the recommendations from the California Department of Public Health, to encourage physical distancing to spare the spread of COVID-19. Instructions for attending or participating in the meeting were provided in the notice and include both internet and call-in options. The notice is available on the Energy Commission's webpage.

Instead of our normal full-day IEPR workshop, we've broken this topic into three segments over two days. It's something new we're trying in an attempt to lessen the technology fatigue and encourage participation.

So this morning, we will have a presentation and panel on ports and off-road equipment. This afternoon, our second session, will cover medium- and

testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 23rd day of June, 2020.



MARTHA L. NELSON, CERT**367

1 se your hand and let us know that you wanted to comment.

2 Alternatively, written comments, after the
3 workshop, are welcome and they are due on June 11th. And
4 the notice provides all the information you need for
5 submitting comments.

6 And, finally, I'd just like to say this is our
7 first all-remote IEPR workshop. This is the first time
8 we've used Zoom, so please be patient with us if we have

1 a few bumps, and I look forward to a great workshop.

2 And with that, I'll turn it over to the
3 Commissioners for opening remarks.

4 Thank you.

5 COMMISSIONER MONAHAN: Good morning everybody.
6 Sorry, I'm losing my voice. This is Commissioner
7 Monahan. And I want to just thank everybody for joining
8 this conversation.

9 As Heather was saying, this is our first ever
10 IEPR workshop using Zoom, so we're learning, and we've
11 excited to be able to use this technology to continue a
12 conversation on how do we clean up transportation and do
13 it in a way that helps everyone.

14 And I want to just, first, thank our panelists,
15 thank Heather and the IEPR team for pulling this
16 together, and thank everybody who's joining this webinar.

17 So when we planned to do a Transportation IEPR
18 it was in a pre-COVID world. And it's clear that
19 transportation, I would say, is our biggest challenge
20 when it comes to meeting our goals for climate and clean
21 energy, and our biggest opportunity, arguably. We're
22 seeing a lot of exciting changes in the world of
23 transportation like we've never seen before. I didn't
24 think five years ago that we could electrify a semi and
25 we are.

1 So the question that we pose to our panelists
2 and to the participants is how do we continue to make
3 progress on clean transportation, even as we are facing a
4 world of -- you know, where job loss and economic impacts
5 are tremendous from COVID-19? So we are using this IEPR
6 process to also explore, what do we need to do in the
7 near term as the State of California in the policy
8 landscape to continue to make progress, and to create
9 jobs, and to help the economy recover? So we want to do
10 it all.

11 And this is just the first of a number of
12 workshops to explore this topic. We have a great set of
13 panelists.

14 We actually have a great set of folks on the
15 dais. I want to thank my fellow Commissioners, and
16 Commissioner Inman from California Transportation
17 Commission, about how we can continue to, you know, work
18 together across different agencies to make progress on
19 clean transportation.

20 So I open it up to fellow participants on the
21 dais. And you can raise your hand and I will call on you
22 or try to as I navigate this system.

23 So would any Commissioners like to make
24 comments?

25 CHAIR HOCHSCHILD: Yeah.

1 COMMISSIONER MONAHAN: Oh, and I like the
2 actual raising of the hand, Chair.

3 CHAIR HOCHSCHILD: The actual raising of the
4 hand.

5 Hey, I just wanted to say thank you to
6 Commissioner Monahan for putting this terrific agenda
7 together, and welcome to Commissioner Inman. Thank you
8 for joining us, and thanks to all the staff and
9 stakeholders.

10 This is a really, really critical decade. This
11 2020 to 2030, I really view it as the decade in which we
12 make this transition to clean transportation
13 technologies. This is building on a lot of momentum we've
14 seen over the past years, investing in new innovation.
15 It's bringing the cost down and making these technologies
16 more affordable and better than ever. And, really, this,
17 for me as Chair, is my top priority to work on to support
18 Commissioner Monahan and all of our fellow agencies in
19 advancing this goal. It's our number one emission
20 problem in the state.

21 It is inextricably connected to the economic
22 recovery. And the infrastructure that we need to build
23 to support clean transportation, in addition to improving
24 air quality, is also an essential part of what we need to
25 do to put the state back to work.

1 So I really see it through those lenses and I
2 look forward to the discussion. Thanks for pulling this
3 together.

4 VICE CHAIR SCOTT: So good morning. This is
5 Vice Chair Janea Scott. And I am also delighted to join
6 you all today.

7 And congratulations, Commissioner Monahan, on
8 having the 2020 IEPR. This is a great way to start a
9 really detailed and robust workshop that I'm very much
10 looking forward to.

11 I have worked with the Energy Commission and a
12 set of ports across the state, so I'm really looking
13 forward to hearing some more on this topic. We've worked
14 closely with the Port of Oakland, Port of Stockton, Port
15 of Hueneme, Port of Long Beach, Port of L.A., and Port of
16 San Diego over the last five years or so to really test
17 out zero-emission technologies. So we have electrified
18 all different types of port equipment to see how it
19 works. Folks have had a chance to drive it, really,
20 actually, kick the tires on it, see that it makes the
21 duty cycles and it can perform in just the same way that
22 internal combustion engines were working at the ports.

23 The ports have been fantastic partners for us.
24 They've been pragmatic and practical. They're willing to
25 try out new things and really work with us on the cutting

1 edge, and not just in testing out the vehicles but in
2 also testing out the infrastructure and thinking through,
3 where do you put a charger for a set of drayage trucks
4 that may be moving around a port, or on a terminal where
5 the shape and size of the terminal and what's coming in
6 and out changes quite often? So where do you put
7 charging equipment in a way that really matches up the
8 duty cycles of what you need to accomplish with the
9 charging cycles?

10 And looking into hydrogen fuel cells, where
11 that fits in, where hydrogen can fit into the technology
12 and where you would do the fueling as well?

13 And then also looking at some of the
14 standardization that we're going to need in terms of what
15 does the plug look like; right? You don't want a bunch
16 of different vehicles and every single one has a
17 different plug.

18 So a lot of really pragmatic things to help us
19 think through and have real practical on-the-ground
20 experience for what it's going to look like to bring
21 these zero-emission vehicles in the infrastructure to
22 support them to ports.

23 So I just wanted to take a quick minute to
24 highlight that work that's going on. And I hope that
25 information from that will be included into the chapter

1 because it's some really interesting real-world
2 experience and I know that we'll be talking about that
3 some during the workshop as well.

4 So thank you so much. I'm glad to see all of
5 the panelists and our participants and looking forward to
6 the day.

7 COMMISSIONER MONAHAN: Commissioner Inman,
8 would you like to say anything?

9 COMMISSIONER INMAN: I would. I am delighted
10 to be here today. And I think the timing is just
11 absolutely amazing. During this extraordinary shelter-
12 in-place, safe-at-home, whatever label your area put on
13 it, I have the opportunity to really get to feel like I
14 can help in some small way by working with the supply
15 chain. And that sector was deemed essential. And so
16 those of us, whether it was our port partners, our rail
17 partners, our trucking partners, our warehouse, you know,
18 rolled up our sleeves to make sure that we could keep
19 goods flowing to make sure that we can identify the
20 challenges, whether it was with medical supplies, kind of
21 use some of the technology that our port partners had
22 used but expand that into our medical partners.

23 So I think the timing is amazing because we've
24 all had a timeout but we've kept moving. And I think for
25 all us to listen and learn together and to think about

1 how best to do this because, with the economic recovery,
2 we know that infrastructure has a proven track record of
3 being a good investment, short-term and longer term. So
4 to the extent that we can identify what it is we're going
5 to need in the infrastructure for our new next norm, or
6 whatever we're calling the future, I think it's great for
7 all of us to be having these discussions today.

8 I think we've all learned through this to be
9 better listeners, I hope, as we've been on this journey.
10 We've all had a lot of time at home.

11 And that we've used with technology. I mean,
12 I'm thankful for Zoom. And I laughed and said that I've
13 gotten Zoom-itis from so many Zoom meetings. But we
14 really have figured out that we can be very effective and
15 connect.

16 So I'm excited to listen and learn today.
17 Thank you for having me.

18 COMMISSIONER MONAHAN: Great. Well, thank you
19 so much for joining us.

20 So let's start off with our first speaker,
21 Román Partida-López from the Greenlining Institute.

22 Román, you are on.

23 MR. PARTIDA-LOPEZ: Can you hear me now?

24 COMMISSIONER MONAHAN: Yes, we can.

25 MR. PARTIDA-LOPEZ: Okay. All right. I called

1 in, taking a different approach to this call, and so I
2 was having call myself from Zoom, so I'm trying to figure
3 that out. So you can still learn something new, even
4 though I think we've all used Zoom for several weeks now.
5 There's always a new component that you're unaware of.

6 COMMISSIONER MONAHAN: It's all about learning,
7 Román, all about the learning.

8 MR. PARTIDA-LOPEZ: Well, I learned my one
9 thing for the day, so I'm just going to call it a day,
10 pack it up, and stay home.

11 And so good morning everyone, Chair, Vice
12 Chair, and Commissioners. Thank you so much for this
13 opportunity to speak with you all this morning. And I
14 want to thank you all for your opening remarks because I
15 think what you all talked to or mentioned I think really
16 sets the framework for the discussion we're about to have
17 over the next 20 minutes or so, plus for the rest of the
18 day and tomorrow. What you all mentioned was really in
19 line with what we're thinking at Greenlining and how do
20 we advance a market, like the medium- and heavy-duty
21 market, while ensuring that benefits are felt by all?

22 So over the next 20 minutes or so, you know, I
23 want to set a foundation for our discussion and talk to
24 how we advance policies and programs that center equities
25 and environmental justice while advancing the adoption

1 and deployment of zero-emission medium- and heavy-duty
2 trucks and buses and equipment.

3 Next slide. Oh, now I have my video. Okay,
4 there we go. Now you all can see me.

5 So for those who are unfamiliar with
6 Greenlining, we are a racial and economic equity advocacy
7 research and leadership development organization, focused
8 on redressing the impacts of redlining on low-income
9 communities of color. I'm Legal Counsel with the
10 Environmental Equity Team and I've been with the team for
11 about two years. And we work to reduce poverty and
12 pollution in our most impacted years. Over the last two
13 years, Greenlining has been engaged at the intersection
14 of electric vehicles, transportation electrification,
15 mobility, and equity.

16 And we really appreciate the opportunity to
17 come and share with you all today what we're thinking and
18 how do we assure, again, that we move in a direction,
19 especially in the times that we're in, that create
20 multiple benefits and that we're not only cleaning our
21 air but that we're also providing opportunities for
22 economic growth and wealth building for our most impacted
23 communities.

24 Next slide.

25 So the purpose of my presentation today will

1 be, again, to level set and conceptualize the importance
2 of making equity real in policies and programs that will
3 help advance a market that can provide multiple benefits
4 for low-income communities of color, especially those who
5 reside next to ports, warehouses, highly-transited
6 freeways, who we know face the brunt of these economic --
7 face the brunt of both socioeconomic and environmental
8 burdens.

9 First, though, I do want to spend a couple
10 minutes talking through the current situation that we're
11 in and how this pandemic has exacerbated the impacts on
12 low-income communities of color and why this work is so
13 important right now, both short term, medium term, and
14 long term.

15 Next I want to share with you all a set of
16 principles that Greenlining, along with other
17 organizations, have spent some time thinking through and
18 that we hope that, as part of this discussion, it's
19 something that you all think through and, hopefully, in
20 the discussions that you all have in the following
21 workshops, keep in mind. But, hopefully, our concept is
22 enough to get you all thinking about how we're centering
23 equity in the work. These principles and standards that
24 I'm talking about we feel can provide the guidance needed
25 to ensure we are centering and addressing equity.

1 And last, I want to share our most recent
2 experience as part of the San Diego Port Demonstration
3 and Equity Project and share with you all a set of
4 recommendations that we feel center equity and the
5 community needs and provide benefits for those
6 communities.

7 Next slide. Thank you.

8 Right now, you all have already seen or heard
9 of the impacts that this pandemic is having on low-income
10 communities of color. Even though this pandemic has
11 impacted us all, the impacts are uneven and have been
12 felt by -- felt the most by Black and brown communities,
13 from rising unemployment, housing inequalities, lack of
14 adequate broadband access. This pandemic has only really
15 magnified existing economic equalities.

16 Additionally, we've seen actions taken by
17 federal and some state regulators to ease or eliminate
18 environmental protections, protections that are designed
19 to help the most vulnerable. This attack was already
20 underway prior to the pandemic, so this situation has
21 only exacerbated conditions. Low-income communities of
22 color who already have faced the brunt of these actions
23 or inactions, they are now additionally exposed to higher
24 levels of pollution and socioeconomic impacts by easing
25 or stopping some of these regulations.

1 Lastly, when we think about moving people,
2 transit access needs to be prioritized. We've seen and
3 read how, because of the pandemic, there's been a
4 decrease in transit accessibility. And that is really
5 impacting or low-income essential workers who rely on
6 transit as their way of transportation, yet we continue
7 to see these cuts, even though we continue to state that
8 they are essential workers. And we're not providing the
9 adequate resources to ensure that they are being uplifted
10 and centered in the work that's happening.

11 Next slide.

12 So I wanted to share this visual here that a
13 colleague of mine put together. And by now, I think a
14 lot of us have heard, also, or seen pictures, right, of
15 the change in air quality because people are not driving
16 as much, either working from home, or staying home, and
17 so there's been a reduction in air pollution. However,
18 these air quality benefits, again, are not being felt by
19 all, especially low-income communities of color.

20 With more people home there's also been an
21 increase in demand for goods and delivery services, which
22 means hubs, such as ports, warehouses, those corridors of
23 highly-transited corridors, have seen an increase in
24 activity which, again, impact low-income communities of
25 color. And we know that most of those vehicles and

1 equipment that's operating isn't yet zero-emission and,
2 therefore, continuing to increase the level of air
3 pollution in -- the level of air pollution and,
4 therefore, increasing additional exposures to our
5 community.

6 And so this image here, as, hopefully, you can
7 kind of see how -- you can see it, basically takes three
8 maps. It takes the redlining map of Oakland in the late
9 1930s, CalEnviroScreen map, and then the most recent map
10 put together by the Alameda County Health. And as you
11 can see, all three of these maps highlight in the same
12 general area. Redline areas in the 1940s are pretty much
13 the same when we look at CalEnviroScreen. And when you
14 look at COVID and its impacts, those bright orange there
15 also seem to overlap with the other two maps.

16 And so, again, this is just a different way of
17 visualizing the fact that our most impacted communities
18 continue to take the brunt of, whether it be air
19 pollution, pandemics, or injustices.

20 Next slide.

21 So because of this, we offer the following
22 guidelines, the following guiding principles and
23 standards for an equitable -- as an equitable framework
24 for any funding or regulatory proposal that is meant to
25 address the fallout and recovery of this pandemic. These

1 principles and standards we feel provide the best
2 opportunity to embrace systematic transformation and
3 meaningful address the needs and concerns of priority
4 communities as we begin to recover from COVID and
5 simultaneously prepare for climate-related impacts.

6 So any recovery effort must deliver targeted,
7 race-conscious investments. Investments must be targeted
8 to these priority populations and significantly address
9 the needs of those who are most impacted by pollution,
10 the pandemic, and climate change, particularly Latinx
11 communities, Black, API, and indigenous communities.

12 And if we're going to center equity, we must
13 uplift the communities -- we must uplift community-driven
14 solutions. Investments must facilitate and require
15 community leadership, decision making power, and robust
16 community engagement. There must be intentional benefits
17 that avoid burdens. Investments must not harm priority
18 communities who are already experiencing significant
19 socioeconomic, environmental, and health burdens.

20 And to achieve this transformation, investments
21 must comprehensively deliver public health outcomes,
22 environmental and economic opportunities as well.

23 And, lastly, investment monies must include
24 funds for capacity building and technical assistance to
25 support communities with the least resources and help

1 ensure that they have access to program and funding
2 opportunities.

3 Next slide.

4 So with this in mind, I want to share our
5 experience through this work that we did with the San
6 Diego Port Tenant Association and its partners. I want
7 to share the analysis and the recommendations that we
8 developed as part of this work.

9 Greenlining was tasked with analyzing several
10 state, local government, and port policies to better
11 understand how equity was being addressed and built that
12 -- we built out recommendations for policies that center
13 equity, engage, listen, and hear community needs, and
14 ensure both direct and co-benefits to these types of
15 investments.

16 Next slide.

17 So utilizing our making equity real framework,
18 we analyzed how policies and programs focused on
19 transitioning medium- and heavy-duty trucks and buses and
20 equipment to that technology, center equity in its goals,
21 vision, and values, in its process development, in its
22 implementation process, and in its evaluation. And what
23 we found was a set of mixed outcomes in providing
24 benefits to surrounding port communities in the
25 transition of freight equipment from diesel to zero-

1 emission.

2 Beyond technology and air quality improvements,
3 these policies were not explicit on how surrounding port
4 communities would see direct, meaningful, and measurable
5 benefits because of the implementation of these policies
6 and investments.

7 For the California goods movement sector, to
8 succeed in their efforts to address climate change and
9 improve the quality of life of all Californians, they
10 need to clearly define how to properly deliver
11 opportunities and benefits to improve air quality, link
12 job opportunities, and improve community relations with
13 surrounding port communities. And based on Greenlining's
14 analysis, the report that we put together provides a set
15 of recommendations that can strengthen social equity
16 outcomes from port and goods movement activities and
17 increase the benefits of transportation electrification.

18 Next slide.

19 So incorporating equity into a policy, plan,
20 program or project at its inception makes it more likely
21 that we're going to be prioritizing equity in the
22 procedural and implementation efforts. The project's
23 goals, visions, and values should explicitly state the
24 equity goals it attempts to achieve and specify the
25 communities it intends to benefit. Having clear equity

1 goals and clear identification of priority communities at
2 the outset of a policy, plan or project helps improve
3 transparency and accountability for the project.

4 By now we understand that investments need to
5 go to disadvantaged communities or AB 1550 low-income
6 communities. But because we have now defined that for
7 several years now, there is this opportunity to take that
8 a step further and really identify what communities are
9 going to benefit beyond just having a broad definition.

10 The policy and project should also clearly
11 articulate the disproportionate impacts that the goods
12 movements has had on that impacted port community, how
13 structural and institutional inequalities play a role,
14 and how government and the private sector have an
15 obligation to leverage the efforts at hand to combat
16 environmental and economic injustices.

17 Additionally, the project goals and guiding
18 principles should include an equity goal that it will
19 address the disproportionate impacts of port pollution on
20 poor communities by directly -- by directing and
21 prioritizing benefits to these communities.

22 Next slide.

23 So as I mentioned earlier, community buy-in and
24 community engagement is critical. Often, vulnerable
25 communities are only informed that a project is happening

1 rather than being fully engaged and empowered in all
2 stages of a project. Communities engagement in projects
3 and policies should be -- should not be just an add-on
4 benefit just to check the box. It should really help
5 drive the project's direction. If the communities of
6 color hardest hit by port pollution and port-related
7 environmental degradation are not brought into the
8 proposed effort to become zero-emission, we are missing
9 an opportunity to address equity, center equity and,
10 especially, the needs of the communities. And having
11 that community buy-in will help move those projects along
12 and, hopefully create that momentum needed to transition
13 to zero-emission.

14 We need to promote community-driven solutions
15 that address community-identified needs and share
16 meaningful community partnerships and engagement in
17 planning and decision making, and advance community power
18 that promote community ownership of projects to the
19 maximum extent possible.

20 Next slide.

21 So the benefits of this work are only as good
22 as the implementation, so equity must be at the center of
23 this. We need to prioritize deployment of clean
24 technologies, promote an inclusive workforce, hiring and
25 training opportunities for low-income communities of

1 color and be explicit about that.

2 And especially how this works in its
3 implementation phase is also going to benefit individuals
4 with barriers to employment, so more inclusive
5 contracting practices for goods and for services to
6 ensure diverse-owned businesses, minority owned that run
7 businesses, have access to these economic benefits and
8 are also able to participate from the benefits that are
9 part of the project or policy, and ensure that jobs are
10 accessible and high quality with livable wages and
11 benefits.

12 Next slide. Great.

13 In general, climate and clean energy-related
14 efforts do not adequately measure and evaluate equity
15 outcomes. Greenlining strongly believes that for
16 policies and programs to succeed they should measure and
17 analyze the equity goals and outcomes that's been
18 established. If we set that standard from the beginning
19 where we are identifying as our goal, vision, and values
20 what the equity goals are, it would be much easier to
21 then go back and analyze how we're doing on those equity
22 goals that we have set out.

23 So we recommend that any effort to become zero-
24 emissions clearly define those equity goals and develop
25 evaluation mechanisms to measure progress and to promote

1 transparency and accountability. The evaluation should
2 analyze the policy, it should indicate what strength and
3 areas for improvements it needs in order to meet the
4 equity goals and be used to inform the direction of the
5 effort moving forward. Having some accountability will
6 be important.

7 Next slide. I've got one minute. Almost
8 there.

9 So I just want to end by stating that, you
10 know, well, first off, thank you for your time. And I
11 really just want to express my gratitude for allowing me
12 to speak to you all this morning and reiterate that we
13 have an opportunity to really uplift and provide benefits
14 to our most impacted communities if we are able to really
15 center equity in every phase of the work that we're
16 doing.

17 In order to do that, though, we just can't go
18 back to normal since back when things were normal we had
19 severe economic inequalities. And as my colleague said
20 recently in a blog, our goal for recovering from this
21 pandemic and the economic crisis shouldn't just be going
22 back to normal. Normal is a big part of the problem.
23 Our goal must be to make this world a better place for
24 everyone and the opportunity is now, because if it's not
25 now, then when?

1 So with that, I want to thank you for your time
2 and I look forward to your questions.

3 COMMISSIONER MONAHAN: Well, Román, thank you
4 so much. That was really, really informative.

5 And just -- so we have about ten minutes for
6 questions from the dais, and I'd like to start.

7 So, you know, we have been, at the Energy
8 Commission, measuring the amount of money that's spent in
9 disadvantaged communities as one metric for equity. And
10 it's kind of become, I would say, the central way that
11 we've evaluated equity. And we know that it's deeply
12 imperfect and we are struggling with trying to find a
13 better way to measure equity.

14 And I really was listening closely to what you
15 were saying about engaging communities and defining the
16 outcomes that you want and measuring progress against
17 those outcomes. And we're challenged in this way with
18 electric transportation because, you know, so when you
19 replace one truck and you make it electric, it's pretty
20 expensive. And it's pretty expensive to put the
21 infrastructure in to either charge or refuel it with
22 hydrogen. And, yet, we know, you know, that to get to
23 the clean air future that we want and a largely
24 electrified transportation system, we need to make those
25 initial costly investments.

1 And so that's just one of the challenges we
2 have. And I wonder if you have any advice for us about
3 what we can do, you know, to get to this place where we
4 are accounting for equity with -- you know, in terms that
5 we can measure, while recognizing that there's also going
6 to be some metrics that we'll use that just aren't
7 numerical?

8 MR. PARTIDA-LOPEZ: Um-hmm. Um-hmm. Yeah.
9 No. I think that's a great question; right? And, you
10 know, just want to share quickly the experience that
11 we've had in even developing metrics as well; right?
12 It's not easy. It's definitely a process. And I don't
13 want to say that Greenlining has the answers of what the
14 metrics should look like. I think that's why we point to
15 community and having the community engage in the process.

16 I think from the experience I had on this San
17 Diego Port project, you know, I think developing a
18 process where we're engaging community, and not just
19 really to inform, as I mentioned, but to really hear what
20 they have to say, right, and how we then take that
21 information to prioritize the type of projects that we
22 want to see; right? If what they want to see is, you
23 know, that we electrify this particular sector, how can
24 we then have -- make -- ensure that those investments are
25 prioritized and are happening in that particular port

1 community.

2 But based on those discussions, we also start
3 thinking through what those metrics should be, right,
4 whether, you know, they just want to track if it's -- or
5 just tracking what the level of investment is, or you
6 know, the type of jobs that are being created because of
7 that opportunity, or how many times they've actually been
8 engaged, right, and whether that engagement and their
9 feedback has actually led to particular changes in the
10 way that the ports -- or the policy is being implemented.

11 And I'll just say, too, that I also sit on the
12 AB 617 Advisory Committee here in San Diego. And through
13 that process, I've learned a lot; right? I have now --
14 engaging both with industry and using the experience I
15 had from this work in that space is how there is
16 sometimes that tension between how do you move this
17 forward in a way that gives you those -- the air quality
18 benefits but also ensuring that we are meeting the needs
19 of the communities that they're requesting.

20 And recently, we saw that kind of unfold in a
21 way that, you know, both industry and community kind of
22 came together in a decision of how we proceed on some of
23 these projects so that we are prioritizing zero-emission
24 technology because the community is the ones who live
25 there and are experiencing this. But then, also, how do

1 we move some of these other projects that may not be
2 focused on zero-emissions? By having conversations with
3 folks about -- and with industry folks about what it
4 would take to take that next step to transition some of
5 that over to zero-emission?

6 But I just -- I'll close by saying, engaging
7 community at every point possible, right, obviously doing
8 it without overburdening them with meetings, but doing it
9 in a manner where you can then ensure that their input is
10 being brought in, and then being able to showcase that
11 their feedback is being incorporated and having an
12 influence in how decisions are made.

13 COMMISSIONER MONAHAN: Thank you.

14 Any other questions from the dais? And you
15 could do it -- I mean, you could just, I guess, raise
16 your hand or talk. You can also, if you click on the
17 participant tab, you'll see the opportunity to raise your
18 hand virtually, so that would be another way to let me
19 know you want to ask a question.

20 All right, Commissioner Inman, I like the
21 actual raising of hands. Let's just --

22 COMMISSIONER INMAN: Hey, I was covering all my
23 bases. I've got the little blue diamond up there, the
24 blue rectangle, and then the old-fashioned raise the
25 hand.

1 But, anyway, thank you so much, Román. And,
2 you know, just taking notes, and I think about this time
3 we've all been through, and we all like to have our
4 voices heard. And I don't know about you all, but I've
5 been on hold, calling my communication provider or
6 whatever. And so it's just, it's a reminder to me that
7 we need to listen and we need to, I think, engage. And I
8 look at, really, our communities, and I think for each of
9 us the sense of place in the community, and to think how
10 collectively we can all be better together. And, you
11 know, when I think about it, too, clearly the education,
12 and we're all learning energy and transportation and
13 those opportunities, but then the jobs.

14 So, for me, I think really looking at what are
15 the skills we're going to need, what are the jobs that
16 are going to be available, and so at the end of the day,
17 I mean, that was my takeaway, so thank you.

18 MR. PARTIDA-LOPEZ: Yeah. And if I can just
19 react to that, yeah, that's a core component; right? And
20 how do we, through this process of community engagement,
21 really then also uplift job opportunities by informing
22 folks of what the potential jobs could be at ports or,
23 you know, or at some of these other places of goods
24 movement.

25 There is that tension, obviously, between

1 community and industry, and so we have to also account
2 for that. But how do we build -- how do we start
3 building that trust, right, with the communities and the
4 community organizations who are in that space so that we
5 can get to a place where we can have those conversations
6 of, okay, there is this, but how can we also then create
7 job opportunities in a way that is responsive to what's
8 happening in the community and addressing the concerns of
9 the community while also being able to create jobs, and
10 especially jobs for those who have those additional
11 barriers to entry?

12 VICE CHAIR SCOTT: Patty, this is --
13 Commissioner Monahan, this is Janea. I will jump in
14 also.

15 Thank you, Román, for your excellent
16 presentation. I think just, you know, just sitting and
17 thinking through, also, what you have talked about and
18 how we have tried to incorporate more meaningful
19 engagement with communities, even into the solicitations,
20 right, so that it's part of what the folks who win the
21 dollars to do the solicitation are -- they have to have
22 that forefront of mind, right, when they go and start
23 putting projects together.

24 And it is tricky to think about what those
25 metrics should be. And we have had -- so I used to be on

1 the transportation side and now I'm the research side --
2 some fits and starts in places where folks started
3 communicating with communities and then the grant money
4 was gone and then everything just dropped off.

5 And so something else that I think about is how
6 do we develop relationships that last longer than the
7 particular Energy Commission grant; right? And that's a
8 big ask; right? That's more of a macro kind of question.
9 But that's the type of thing that, also, I think would
10 really help as we are trying to develop a meaningful
11 engagement. How do we encourage people to keep doing
12 that whether they have a grant from the Energy Commission
13 or Air Resources Board or whomever or not; right?
14 Because that's such an important part of making sure that
15 we're all moving together in a smart and thoughtful way
16 that's meaningful for people in the communities where
17 these projects are.

18 MR. PARTIDA-LOPEZ: Um-hmm. Yeah. No. And I
19 think that's a great point; right? Because, yeah,
20 community and community groups are already at capacity or
21 stretched thin with the funding that they have.

22 VICE CHAIR SCOTT: Um-hmm.

23 MR. PARTIDA-LOPEZ: And, you know, we've been
24 thinking about that, and just kind of through the work
25 that we're doing and the committees that we're on, of how

1 can we be somewhat forward thinking in how we're applying
2 for grants? And how we then setting up our communities
3 to have the capacity to engage post that particular
4 grant; right? And at times what that means is applying
5 for one grant and then knowing that you have two years
6 for implementation but halfway through that thinking
7 through, how can you extend that by applying for another;
8 right?

9 And that's just one example of how you start
10 building those blocks to maintain that progress and that
11 momentum that you're building around that particular
12 work, and having that funding needed, right, to move that
13 forward?

14 But it is a challenging one, right, and one
15 that, probably, you know, I think needs a much broader
16 discussion of how do we get there? But kind of
17 leveraging some of the existing funding opportunities
18 that are there.

19 And then, when we think about who's applying,
20 how those who are applying or who have access to some of
21 those funds, because they are, you know, constant
22 applicants, how are they then bringing those same
23 partners along to move them forward together, right, in
24 building that -- building those relationships and that
25 trust to continue the work to create a lower-emission

1 future where we all benefit from.

2 Thank you.

3 MS. RAITT: Great. Thank you. This is Heather
4 Raitt. Thank you, Román.

5 Unless we have more burning questions,
6 Commissioner, we'll move on to the panel. Okay. Great.

7 COMMISSIONER MONAHAN: Oh, great.

8 Thanks Román.

9 MS. RAITT: Thank you.

10 MR. PARTIDA-LOPEZ: Thank you.

11 CHAIR RUH: so we'll move on to the panel
12 discussion on ports and off-road equipment. And it's
13 moderated by Jeffrey Lu from the Energy Commission. So
14 there will be a series of short presentations and then
15 time for questions from the dais and discussion among the
16 panelists.

17 So, Jeffrey, please go ahead and start your
18 panel.

19 MR. LU: Yeah. Thank you, Heather.

20 And thank you, Román, for that presentation.

21 Good morning everyone. My name is Jeffrey Lu.
22 I'm an Air Pollution Specialist at the Fuels and
23 Transportation Division here at the California Energy
24 Commission. I think the next 90 minutes or so we're
25 going to be focusing ZEVs within the ports and off-road

1 sector. And to do that, we have five panelists who have
2 set aside some time to join us remotely this morning.

3 With us today we have Morgan Caswell, who is
4 the Manager of Air Quality Practices at the Port of Long
5 Beach, Amanda Marruffo, Manager of Environmental
6 Operations at the BNSF Railway, Gary Dannar, Founder and
7 CEO of DANNAR, Dawn Fenton, Vice President of Government
8 Relations and Public Affairs at Volvo Group North
9 America, and finally, Niki Okuk, Program Manager at
10 CALSTART.

11 As Heather mentioned, each of the panelists has
12 a brief five-minute presentation which they'd like to
13 share. After all of the introductory presentations are
14 complete, we'll open it up to questions from the
15 Commissioners. And following that, we'll jump into the
16 actual panel discussion. We will kick it off with Morgan
17 Caswell from the Port of Long Beach.

18 So, Morgan, whenever you're ready, please go
19 ahead with your presentation.

20 MS. CASWELL: Can you hear me?

21 MR. LU: Yes, we can.

22 MS. CASWELL: Okay. Okay. Do you need the
23 video on, as well, or are we going to keep that off?

24 MR. LU: You can keep that off for now but I'll
25 probably turn it on for the panel discussion later.

1 MS. CASWELL: Sure. Makes sense. Okay.

2 Well, good morning. Thank you so much to the
3 Chair, Vice Chair, and Commissioners, as well as the
4 staff at the CEC for inviting the Port of Long Beach to
5 participate in this workshop. We really appreciate the
6 opportunity.

7 I want to briefly provide some background on
8 who the Port of Long Beach is and what our clean air
9 goals are. And my hope is we'll dive into some of the
10 specifics related to the projects, and opportunities and
11 challenges we're experiencing in this space, a little bit
12 later in the discussion.

13 Jeffrey, if you wouldn't mind changing to the
14 next slide? Great.

15 So we'll start from the beginning.

16 In 1911, California granted Long Beach the
17 charter to build a port to promote trade, further
18 economic development, and create jobs. Thus, the Harbor
19 Department for the City of Long Beach was born.

20 We are governed by a board of five Harbor
21 Commissioners who are appointed by the mayor to set
22 policies for the Port. Although we are a public agency.
23 Port operations are not supported by tax dollars.
24 Instead, our revenues come from leasing terminals to our
25 tenants.

1 As a landlord port, we do not own or operate
2 any of the equipment. And this becomes particularly
3 important when you're talking about our zero-emission
4 project and transitioning the equipment to zero-
5 emissions.

6 Next slide.

7 The Port of Long Beach is an economic engine.
8 We are the second busiest container port in the United
9 States. And \$194 billion worth of trade goes through our
10 port each year. Trade, construction, and tourism at the
11 Port of Long Beach is connected to 1-in-20 jobs across
12 Southern California, providing \$30.9 billion in income.
13 The port supports about 2.6 million jobs in the United
14 States, providing \$126.8 billion in income.

15 Next slide.

16 This economic success does not come without a
17 cost to our air quality and local community health. In
18 2006, the Ports of Los Angeles and Long Beach jointly
19 released the first Clean Air Action Plan, known as the
20 CAAP, which focused on reducing health risk and criteria
21 air pollutants across all source categories. Since its
22 adoption, we have reduced diesel particulate matter by 88
23 percent, nitrogen oxides by 56 percent, sulfur oxides by
24 97 percent, and greenhouse gases by 16 percent at the
25 Port of Long Beach.

1 In 2017, we updated our CAAP with new
2 strategies and included our most aggressive clean air
3 goals yet. By 2030, all cargo handling equipment in our
4 terminals will be zero-emission equipment. And by 2035,
5 all heavy-duty trucks entering and exiting the ports will
6 be zero-emission.

7 Next slide.

8 In order to advance our zero-emission goals,
9 we've worked with our partners to secure over \$73 million
10 in mostly state and some federal grants to demonstrate
11 zero-emissions equipment, hybrid equipment, clean harbor
12 craft technologies, zero-emission heavy-duty trucks, and
13 other cleaner technologies. The majority of our grant
14 funding comes from the CEC and the California Air
15 Resources Board. And we are incredibly grateful for
16 their support and their partnership.

17 These demonstrations are starting to take place
18 now at most of our container terminals, with some
19 equipment set to come online in 2021.

20 Next slide.

21 So with that, thank you again for allowing me
22 the brief introduction. Looking forward to the follow-up
23 discussion where we'll get into some of the details
24 related to the impacts we're seeing with COVID-19, as
25 well as some of the opportunities and challenges

1 associated with heavy-duty equipment and the transition.

2 Thank you.

3 MR. LU: Great. Thank you, Morgan, for that.

4 Amanda from BNSF.

5 MS. MARRUFFO: Hi. Good morning. Can you hear
6 me?

7 MR. LU: Yes, we can.

8 MS. MARRUFFO: Perfect. Okay. Well, I don't
9 have slides this morning, so I thought you guys would
10 actually appreciate having a short break from slides, so
11 I'll just speak on the content.

12 So I am with BNSF Railway. And, first of all,
13 thank you for having me here. I definitely appreciate
14 being invited and happy to speak on our experience.

15 In 2018, BNSF started a battery-electric
16 initiative. And this was to see if we could leverage
17 zero-emission and hybrid technologies in order to improve
18 efficiencies, reduce costs, and lower our environmental
19 impact. So some of the electrical equipment that we're
20 looking at, we're demonstrating an all-electric drayage
21 truck an all-electric yard hostlers, multiple, two hybrid
22 rubber tire gantry cranes, and an all-electric side
23 loader. And sort of the star of the show, that we
24 affectionately refer it to, we are going to be partnering
25 with Wabtec, formerly GE Transportation, which is a

1 company that has made the majority of our diesel
2 locomotives, which we refer to them, really, as the
3 technical experts in the locomotive space. But we're
4 going to be demonstrating a 100 percent battery-electric
5 locomotive that will work in concert with multiple diesel
6 line haul locomotives to form what we refer to as a
7 hybrid content.

8 So, typically, you will see a line haul train
9 that has three to four diesel locomotives on the front
10 end of it. What we're doing is we're adding a battery
11 locomotive where the battery power is then going to
12 offset the fuel consumption of the other diesel
13 locomotives. So the specific route that we're looking at
14 is a Stockton to Barstow route. And based on this and
15 our assumptions, we're estimating about a 10 to 15
16 percent reduction in fuel consumption.

17 So what are some of the opportunities in
18 California?

19 You know, the biggest opportunity comes with
20 the incentive programs. California has a very impressive
21 suite of incentive programs, from the Utility
22 Infrastructure Program, LCFS, CARB's Low Carbon
23 Transportation Program, and now we're seeing CEC's Clean
24 Transportation Incentives. And these are working and
25 these need to continue for heavy-duty and off-road

1 applications because without these incentives, heavy-duty
2 electric equipment is not cost competitive with diesel.

3 So these incentives are helping us demonstrate
4 hybrid and zero-emission equipment and help us understand
5 these operational differences, as they're compared to
6 their diesel counterparts, we're able to test
7 reliability, maintain ability, productivity of this new
8 technology under 24/7 operations. And BNSF is a 365-24/7
9 type operation. And all of these specific datapoints are
10 then needed for our company leadership to then get
11 comfortable with the concept of electric.

12 So looking ahead into 2021, you know, incentive
13 funding programs are going to be needed more than ever by
14 companies who are seeing reduced revenue impacts from
15 COVID. And then, also, likely what we're going to see
16 coincide is drastic state budget cuts to these very
17 programs.

18 So one of -- some of the barriers that we see
19 in California, there's three main barriers that I see,
20 number one being the supply of electricity. It has to be
21 reliable. It has to be resilient in the face of natural
22 disaster. You know, there are serious concerns, as we
23 face the prospect of another big fire season and possible
24 power blackouts, so we really need that reliability that
25 is going to be 24/7.

1 The second being interagency coordination has
2 to improve. These groups have to align their policy
3 agendas and really ensure that the utilities can and will
4 execute on these proposed regulatory timelines.

5 And then, lastly, the price of electricity,
6 this is a big one. You know, BNSF operates in 28 states,
7 so we see what other states are doing. And, typically,
8 it's two to three times lower in terms of electricity
9 rates outside of California.

10 So just to wrap it up, we are -- we have three
11 sites in California that we're piloting, currently
12 piloting all-electric equipment, and that is San
13 Bernardino, L.A., and Stockton. And we will have our
14 battery-electric locomotives in Q1 of next year.

15 And that's all I have. Thank you.

16 MR. LU: Great. Thank you, Amanda.

17 And a correction to what I said earlier. If
18 you are -- for the panelists, when you begin presenting,
19 please go ahead and start your video.

20 Thanks again, Amanda, for that presentation.

21 Gary from DANNAR, you're up next.

22 MR. DANNAR: Good morning, Jeffrey. I assume
23 you can hear me?

24 MR. LU: I can hear you fine. Thank you.

25 MR. DANNAR: Oh, very good. It seems like

1 every presentation now starts with a sound check, so
2 thank you.

3 Good morning everybody. And I appreciate this
4 opportunity to share our information with you.

5 And what you're looking at is a true off-road
6 working machine, off-road vehicle. We're an Indiana
7 company that has locations in San Clemente and in
8 Stockton, California. We started this project and the
9 company about nine years ago, in 2011. And the
10 objective, of course, with that concept vehicle was to
11 have an all-electric off-road vehicle that had not
12 compromise with performance and so forth.

13 And eight years later, what you're looking at,
14 to give you some size perspective, that's the size of a
15 large pickup truck, a large Suburban, if you will, but
16 inside is 500 kilowatt hours of batteries. And we chose
17 a partnership with BMW car batteries. And we buy
18 directly and have worked directly with BMW out of
19 Germany. We're using the i3 car battery. Inside is 12
20 of those and so it's able to package enough electric
21 power to work all day long and work any kind of
22 attachment.

23 You can kind of see the design is very
24 disruptive. It's purposely been talked about for decades,
25 quite honestly, of coming up with a platform that is very

1 symmetrical, where it's all-wheel drive, all-wheel steer.
2 It's identical on either end, so you have attachments
3 working on either end.

4 So because it is electric, it is about mobile
5 grid storage, being able to have grid storage delivered
6 and placed where you want it or collect energy and share
7 it.

8 It is a charger, a mobile charger, being able
9 to charge up Level 2 cars or Level 3. So it's able to
10 export AC and DC. But it's primarily about work, as
11 well, so that that vehicle can always perform work and
12 emergency response.

13 The next slide kind of gives you a perspective
14 of what you were looking at was 500 kilowatt hours and
15 now you're looking at 250. So below the decks is 250
16 kilowatt hours of BMW i3 batteries. And it frees up
17 those surfaces to receive cabs and scissor lifts and dump
18 beds and work apparatuses. And, of course, each end is
19 available to work anybody's attachment, and we're talking
20 third-party attachment from Caterpillar and Deer and so
21 forth. So it's -- we call it attachment agnostic,
22 meaning we're able to receive anybody's working
23 attachment and, therefore, it has a work application
24 available to anybody.

25 And if you go to the next slide, you'll get a

1 perspective of that configuration of the platform. Now a
2 fleet manager for work machinery has the ability to
3 configure the platform, perhaps for an operator station,
4 or the lower right you see there, there's an operator cab
5 that is a climate-controlled cab. It has arms.

6 But every vehicle also has with it the ability
7 to control it remotely, wirelessly. You'll see in the
8 lower left, and that's a very comfortable user interface,
9 even though that is military grid encrypted for one mile
10 of range. But you can see the eight-year-old boy from
11 Munsey Robotics Team there beside Jake, running the
12 machine. That's by design because emergency response
13 volunteers, we want to make sure that they can feel
14 comfortable either getting on the machine in a cab or
15 grabbing hold of the controller and working it and
16 responding it.

17 The next slide shows a collection of off-road
18 work machinery that you might find in an agriculture
19 setting or a campus or a zoo, any kind of urban or even
20 suburban area that has construction equipment that is
21 collected. This shows that it is a machine that can be
22 configured to have priorities towards storing energy and
23 sharing it or priorities of work, like the lower left
24 there, and charging up other electric vehicles.

25 So the big challenge for the off-road industry

1 right now, it's a very different thing. We were able to
2 take a lot of cues from the transportation industry and
3 the great progress that's made. The technology is
4 becoming very mature after 12, 15 years, electric buses
5 and so forth. A lot of the undercarriages and components
6 and systems that work well in transportation can be
7 packaged uniquely, like we are doing, so that it can now
8 be moved to the field, moved to construction areas and so
9 forth.

10 The difference is the charging infrastructure,
11 the management of energy. Most off-road fleets have
12 always had their own, by necessity, energy strategy.
13 Whether they would be storing fuel on site or be moving
14 fuel by trucks, receiving fuel, they would always do a
15 calculation of just how much energy in fuel do we need
16 every month. And then they had their own strategies that
17 they've used for, you know, decades and decades and
18 decades.

19 The equivalent fleets are anxious and motivated
20 to move to electric vehicles. So the real challenge for
21 us now is how to help them manage their energy.

22 And that next slide is my last slide. And I
23 appreciate the opportunity to share that with you and
24 look forward to what next steps may be.

25 Thanks, Jeffrey.

1 MR. LU: Thank you, Gary.

2 Next up we have Dawn from Volvo.

3 MS. FENTON: Okay. Let's see. I don't know if
4 my -- I assume you can hear me and --

5 MR. LU: We can hear you, Dawn.

6 MS. FENTON: -- but I haven't seen my video.

7 MR. LU: Yes.

8 MS. FENTON: Okay. Great. And I don't know,
9 is the video working, too, or no?

10 MR. LU: The video is also working.

11 MS. FENTON: Okay. Great. Great. Well,
12 thanks so much to everyone for inviting me to be here
13 today. It's really an exciting time to be talking about
14 the advent of electric heavy-duty vehicles. And Volvo
15 Group is doing a lot of work in this space. As I'm sure
16 many of you know, we are selling all-electric trucks and
17 buses and construction equipment in Europe right now, and
18 now moving to make those available here in the United
19 States as well. We've learned much and we're really
20 excited to share what we've learned to help contribute to
21 the success of this emergence here in the U.S.

22 Can you go to the next slide?

23 Probably the most well-known project that we're
24 working on right now, at least here in the U.S., is the
25 Volvo LIGHTS Project. I'm not going to get into a lot of

1 detail about this because there's more information
2 available at a website that's listed there,
3 lightsproject.com. And we've also done a lot to
4 communicate about this project.

5 But just quickly, on this slide, you can see
6 the map there which shows where the project was
7 operating, going between the Ports of L.A. and Long Beach
8 to the Inland Empire. Across the bottom there you can
9 see the different components of the project that include
10 bringing 23 all-electric heavy-duty trucks, freight
11 handling equipment, renewable energy, charging equipment
12 to the project. And then on the left side you see the
13 list of the partners. There are actually 15 different
14 partners who are involved in this project and it's quite
15 a diverse group of folks all working together to show
16 that electric -- battery-electric trucks can work for
17 goods movement.

18 Can you go to the next slide?

19 So in addition to the LIGHTS Project, though,
20 there's other vehicles and equipment that we're working
21 on. Certainly, in our subsidiary, Mack Trucks, we have
22 launched an all-electric refuse truck that is being
23 demonstrated now with the Department of Sanitation in New
24 York City. And we're aiming for commercial production
25 after that and one or two commercial pilots are

1 concluded.

2 And, also, we're working in the area of
3 construction equipment. And you'll see here a press
4 release that was issued last month between South Coast
5 Air Quality Management District and Volvo Construction
6 Equipment where we're testing an all-electric urban
7 excavator and wheel loader in California. And that,
8 also, will conclude at the end of that project with
9 having a commercial offer here in California and in the
10 U.S. more broadly.

11 Can you go on to the next slide which, I
12 believe, is my last slide?

13 So -- and, obviously, California is really in
14 the lead in this market. The state has dedicated
15 hundreds of millions of dollars to try and accelerate the
16 adoption of ZEVs. And there's regulatory activities
17 going on with the Advanced Clean Truck Regulation. And
18 Volvo supports this movement and this transition that
19 California is looking to accelerate. We find it to be
20 good for the environment. Certainly, it's good for
21 communities as it helps air quality and noise reduction.
22 It's good for our customers and for their workers who
23 operate these vehicles. And it's good for us, as a
24 company, because we manufacture these products, and so
25 it's good for business.

1 So we want to support this transition as much
2 as we can but we are concerned that the transition may
3 not go well, especially if things unfold, as they seem --
4 it seems that they might, as of right now, in California.
5 And we don't want to see California undermined -- or the
6 success that they're on the cusp of reaching be
7 undermined. And so we see four -- I've captured just
8 four points here that I think really clarify some of the
9 biggest concerns we have.

10 First, just to highlight that this is a real
11 paradigm shift. It's much different than when we added
12 particulate matter -- I mean diesel particulate filters
13 or some of the other technology advances that we've added
14 in past years. I mean, this is the first time that
15 you're forcing interdependence among a number of new
16 stakeholders in this process.

17 And we really feel that the single largest
18 obstacle that we have to having these introduced
19 successfully is the lack of heavy-duty charging
20 infrastructure. And I know Amanda had mentioned this as
21 well. And, obviously, these vehicles can't operate
22 without the charging infrastructure. And right now I
23 think the state is woefully unprepared in terms of the
24 amount of money that's going to be available and
25 underestimating the amount of time it's going to take to

1 get some of these -- this infrastructure in place.

2 This was the situation that was really
3 difficult before the COVID-19 pandemic. And it's only
4 gotten worse since then. As we see, the State of
5 California is having to reduce budgets. Companies,
6 fleets, are going to have to reduce budgets. OEMs are
7 going to have reduce budgets. So it's certainly only
8 gotten more difficult.

9 And then, finally, one thing that we think that
10 could be done to help alleviate some of this is to have
11 better coordination in the state to -- for those
12 incentive dollars for either -- for purchase of the
13 vehicles, as well as for the infrastructure, to make it
14 easier for customers to be willing to take on this risk
15 at a very risky time in their -- as they're facing in the
16 economy. So we don't want to discourage them with a bad
17 experience and have them walk away from this market as
18 it's just beginning.

19 So with that, I'll conclude. And happy to
20 engage in conversation.

21 MR. LU: Thank you very much, Dawn.

22 And, finally, we have Niki Okuk from CALSTART.

23 Niki, are you on? Niki, you're on mute right
24 now.

25 MS. OKUK: All right. How's that?

1 MR. LU: All right. Yeah. We can hear you
2 now.

3 MS. OKUK: Okay. So I will try to go quickly
4 in consideration for everyone's time today.

5 The CORE Voucher Incentive Program is for clean
6 off-road equipment. This funding cycle was dedicated
7 strictly to freight-enabling and freight equipment, so it
8 includes things like real car movers, RTG cranes, four
9 power capable systems, transportation refrigeration
10 units, et cetera. But I'd like to start, rather, with
11 more of a level set of what is the Voucher Incentive
12 Program and why is it important?

13 So unlike some other funding options, the
14 Voucher Incentive Program is really intended to buy down
15 the incremental costs between your traditional internal
16 combustion engine equipment and your new zero-emission
17 advanced technology equipment. So what that means is
18 that we spend quite a bit of time sort of gathering
19 information on the cost of this equipment and try to
20 bring it down so that it's comparable with what these end
21 users would have traditionally bought. In doing that, we
22 hope to accelerate the market and then, over time, reduce
23 related components costs and allow these types of
24 technology to reach a cost parity.

25 So the way that the program works is that a

1 manufacturer, like DANNAR, for example, on the line with
2 us here today, or Volvo, would submit their equipment in
3 order to be qualified by CARB. The Air Resources Board
4 will evaluate that equipment. And then it is added to
5 sort of a catalog of approved equipment which is
6 available on the website.

7 Then those dealers can go out and begin
8 marketing this equipment to end users, like our esteemed
9 panelist from BNSF today, and those end users can conduct
10 a purchase without having to complete a competitive
11 application. They would pay only the purchase price of
12 the equipment with the voucher to reduction sort of
13 discount taken right off the value of the vehicle. And
14 then the dealer delivers that equipment to them and
15 receives a check directly from CALSTART or ARB. The CORE
16 Project then pays the difference to the dealer.

17 So the reason, I think, that I go to the
18 trouble of explaining all of this is because voucher
19 incentive programs really are the very easiest way to
20 deliver dollars to manufacturers, dealers, and end users
21 in order to make it really simple to make this
22 transition.

23 So the CORE Project and sort of it's analogous
24 sister project, which is HVIP for on-road vehicles, works
25 really well in doing this because it is so simple,

1 because everybody can understand how to use the program
2 and how to participate in the program.

3 Go to the next slide please.

4 And so the reason we believe that this is such
5 an important step in sort of a longer term goal is
6 because we believe that transferrable technologies will
7 begin to reduce in cost over time and, therefore, bring
8 us into sort of the heavier-duty applications. And I
9 think that this has been, actually, proven out to be
10 true, right, with the advancement from light duty and
11 transit into shuttle bus and now delivery, and now moving
12 into heavy-duty type technology.

13 And the same has been true in parallel in off-
14 road, being that forklifts have been available for quite
15 a bit of time. And now yard trucks are becoming
16 available. And, as some of our other panelists
17 mentioned, now there are pilots and demonstrations for
18 heavy-duty container handling equipment, construction
19 equipment, and then we'll be moving into heavier-duty
20 applications as battery technology advances and costs
21 come down.

22 This is made exceptionally apparent by the fact
23 that when we launched CORE just a few months ago, within
24 about 45 minutes, all of the funding for yard trucks was
25 expended. And that shows to us, that demonstrates to us,

1 right, that that particular market, that application is
2 advancing well, while others have taken more time and a
3 little bit more nurturing to begin participating in the
4 program and deploying equipment.

5 Next slide please.

6 So, sorry, this got a little bit difficult to
7 read here. But, really, what I wanted to say is that,
8 you know, this program was allotted \$40 million. And as
9 I mentioned, very quickly, within the first couple of
10 days, more than half of it was used. We've gone to speak
11 with all of our stakeholders, our potential
12 manufacturers, our end users, dealers, and even
13 stakeholders, right, like ports, who don't necessarily
14 own equipment but are essential in deploying this
15 equipment, to sort of understand, what is going to be the
16 growing demand for all of this? And what we've found,
17 after speaking with all of them, really is that there is
18 a projected demand of more than twice what was originally
19 allotted this program pre-COVID funding.

20 So with that being said, I just, I guess I want
21 to reiterate the point that the technology is here, the
22 technology is ready, and the technology is driving the
23 next steps. And we only need to assist them by buying
24 down the cost, which voucher incentive programs do
25 incredibly effectively. However, the demand is

1 definitely going to outstrip what we project will be
2 available in the next days.

3 And so in response to some of our other
4 stakeholders on the panel today, the one-stop shopping,
5 the coordinated concerted efforts, right, bringing
6 together all of these funding options and making them
7 readily available and easily accessible is really going
8 to make all of the difference in being able to deploy
9 this type of equipment, right, the type of equipment that
10 is going to drive the market forward, generally, and
11 actually bring incredible reductions in emissions to the
12 communities that are most overburdened by our freight.

13 Thank you.

14 MR. LU: Great. Thank you so much, Niki. And
15 just a heads-up, I don't think your video is working, at
16 least for me, so if you want to double check that?

17 At this time, thank you to all the panelists
18 for your presentations. That was a great introduction.

19 I'd like to open it up to the Commissioners, if
20 they have any follow-up questions for any of the
21 panelists or any specific things they have talked about.

22 And, Niki, yes, I can see you now.

23 Commissioners, do you have questions?

24 COMMISSIONER MONAHAN: Yes. This is
25 Commissioner Monahan. Thanks to all the panelists. That

1 was really, really informative.

2 I have a question. I mean, the Energy
3 Commission is the lead agency on the infrastructure when
4 it comes to hydrogen and battery-electric vehicles. And,
5 you know, I hear the concern that, actually, that one of
6 the biggest barriers is just getting the fuel, whether it
7 be -- I'm assuming, whether it be electricity or
8 hydrogen, we're focusing a little more on electricity in
9 this panel, but hydrogen is also a zero-emission
10 opportunity in the heavy-duty sector.

11 And we know for the vehicle grid integration,
12 it's critical to providing a benefit to all electricity
13 users, especially heavy-duty vehicles are charged at
14 times, at peak times, that can make it more difficult for
15 us to reach our goals for clean power and clean
16 transportation. And so we are striving to have more of a
17 thoughtful integration of charging with the grid and to
18 establish the right policies to set the market signals so
19 charging happens at the right time of day or, if it
20 doesn't happen at the right time of day, you're paying
21 more for it.

22 And I wonder if any of the panelists can
23 respond to that question? I mean, that is an increased
24 barrier, I would say, on the electrification side. But
25 it's also an opportunity that we could even have negative

1 pricing for electricity at certain times of the day.

2 Does anyone on the panel have a response to
3 this question of whether vehicle grid integration is
4 something that you are spending some time thinking about
5 and what your perspective is on that?

6 MR. DANNAR: I'm doing it the old-fashioned
7 way. This is Gary Dannar and I appreciate your question.

8 The one slide I shared shows that if electric
9 equipment, fleet of equipment, not all of it, goes out
10 and works every day but the equipment that's left behind
11 at a port, an airport, wherever, if it could be charging
12 in those off-peak times, obviously, as long as it can
13 export that and charge up the vehicles later, that's one
14 way. That's the first opportunity to manage that, to use
15 what grid power is available to charge those equipments,
16 store it, and then export it and share it with other
17 pieces of equipment.

18 In addition, the agricultural communities could
19 use solar to help support that as well.

20 And so we are, all of us, focusing on trying to
21 figure out that right strategy for the large fleets.

22 MS. FENTON: Yeah. Yes. Just to respond, as
23 well, certainly, we're thinking about it. And potential
24 customers are thinking about it as well.

25 Part of the problem is that, you know, as I

1 mentioned, this is such a shift in the way that
2 businesses are going to have to operate that, you know,
3 we hear frequently about how important it is and how it
4 would be great if fleets, you know, they can charge
5 overnight and when the cost is less. And there are,
6 certainly, certain fleets that can do that and take
7 advantage of that and can be really flexible with their
8 charging.

9 But there are also many that just can't. I
10 mean, they slip seat their trucks that they, you know,
11 are going out and running a shorter run, then they're
12 running a longer run, and they're used to being able to
13 just fuel in 15 minutes and go back out again. And so --
14 and if they are not able to do that, it really changes
15 their whole business model. And they have to even
16 consider whether they can use electric trucks for certain
17 applications or certain routes.

18 So it's a key question and it's one that we're
19 still trying to figure out.

20 MS. MARRUFFO: This is Amanda with BNSF. I'll
21 just reiterate what Dawn just said. And from BNSF's
22 perspective, we're in that boat of we simply don't have
23 the flexibility in our charging strategies -- or in our
24 charging structure in that we have to rely on opportunity
25 charging because we are a 24/7 operation, that's three

1 shifts a day, seven days a week.

2 MS. CASWELL: So I would just reiterate that
3 that's a similar setup that we have at the Port of Long
4 Beach. We have very few opportunity charging hours. So,
5 typically, we would have an opportunity at lunchtime or
6 between a shift, but those shifts are an agreement
7 between the terminal operators and the unions. So those
8 are set times that they're performing work on the
9 terminal.

10 There is opportunity overnight. It's about
11 four hours for charging. That's the best opportunity
12 that we have.

13 Some of the things we're looking into is maybe
14 you can phase charging. So while operators may all plug
15 in at the same time, maybe you can save the actual
16 charging of the equipment so that there's not just an
17 instant spike in demand.

18 So we're absolutely looking at those things.
19 And we're hoping to wrap those kinds of issues into a
20 larger infrastructure plan on a terminal basis to really
21 look at how do we best manage our energy use during peak
22 operations?

23 COMMISSIONER MONAHAN: That's great. Well,
24 thank you all for that answer.

25 We're in the process, at the Energy Commission,

1 of publishing a Vehicle Grid Integration Roadmap, which
2 will be coming out in draft pretty soon. And it's
3 something that we're working closely with the Public
4 Utilities Commission and the CAISO because curtailment of
5 renewables is such a major issue. And the opportunity,
6 as Chair Hochschild likes to say, we want -- we need an
7 EV happy hour where we're plugging in those electric
8 vehicles at a time when we have a lot of generation from
9 renewable energy that is currently being curtailed. So
10 that's an opportunity we're increasingly thinking about,
11 like how do we capitalize on that opportunity so we can
12 integrate more renewables and have extremely low pricing
13 for the electricity that's being used to charge vehicles
14 at those optimal times of the day.

15 Do any of the other Commissioners have
16 questions?

17 I actually am not seeing -- oh, there we go.
18 Now I'm seeing everyone.

19 So you can, I guess, physically raise -- well,
20 I think I'm the only Commissioner on the dais.

21 VICE CHAIR SCOTT: Commissioner
22 Monahan --

23 COMMISSIONER MONAHAN: -- at least not on
24 video.

25 VICE CHAIR SCOTT: -- this is Janea.

1 COMMISSIONER MONAHAN: Oh, there we go. Okay.

2 VICE CHAIR SCOTT: Hi. So --

3 COMMISSIONER MONAHAN: Sorry, Janea.

4 VICE CHAIR SCOTT: -- I would love to jump in
5 with a question. I think it goes along on the
6 infrastructure side, I think, and a question I have.

7 I know we've worked closely with the ports to
8 think about where to put infrastructure. One of the
9 ports was joking with me about if you put something out
10 there, someone will certainly run it over within a day.
11 And so just really making sure in the off-road equipment
12 in the port setting that we have good places where we can
13 put the infrastructure.

14 And then a question I have is a question for
15 you all about scale. So as we go from maybe 5 vehicles
16 or 10 vehicles to 50 vehicles or 100 vehicles, what does
17 that look like? And are you planning for the
18 infrastructure in that side?

19 And I'd love to know what folks are thinking
20 about hydrogen and hydrogen fuel cells; right? So in
21 some of the instances where you're saying you've only got
22 15 minutes to fuel up, hydrogen does fit that and it
23 still is zero-emission. And I know that that technology
24 is a little bit, in some instances, behind where the
25 chargers are for the plugins. But I'd love to just get

1 your thoughts on that. That's kind of for all of you,
2 whoever wants to take that on.

3 MS. MARRUFFO: So this is Amanda with BNSF. I
4 can address the question about scaling.

5 So, you know, right now we're in the pilot
6 stage. And we've got three facilities where we're
7 piloting a rather small number of electric equipment.
8 But really, when we think about scaling out, it comes
9 down to two main issues, and those are, one, reliability
10 of the electricity supply. Nobody wants to scale out to
11 100 percent electric, having all of the equipment be
12 electric, when there's a chance that there's going to be
13 power blackouts and that supply of fuel is not reliable.
14 So that's number one.

15 Number two, stable utility rates. We need
16 stable rates that will allow a sustained cost advantage
17 over diesel. And right now we're seeing, at least from
18 our perspective, because we operate in so many other
19 states, unfortunately, California being, you know, two to
20 three times higher than most other states that we operate
21 in.

22 VICE CHAIR SCOTT: Um-hmm.

23 MS. CASWELL: Well, I'll jump in on that one.

24 I would just add, you know, it's going to look
25 different on a terminal-by-terminal basis. For the

1 ports, you're not going to see the same terminal repeated
2 across the San Pedro Bay.

3 A major next step for the Port of Long Beach is
4 to do some of that infrastructure planning. And we're
5 calling these Zero-Emissions Infrastructure Master Plans.
6 And these master plans really describe the infrastructure
7 needs for terminals to support a zero-emissions fleet,
8 including the charging and fueling needs. And it will be
9 a design and engineering document that really looks at
10 what does the future layout need to be to accommodate
11 some of the larger charging stations that need to go in?
12 How do we need to shift the way that we operate so that
13 it's more efficient as a result? What are the safety
14 requirements and the clearance requirements of these
15 different pieces of equipment? What are the magnitude of
16 the costs? And what is the schedule to deploy the
17 infrastructure, as well as to insure the equipment? And,
18 again, how can do some of that energy management to
19 ensure, you know, that the demand isn't overwhelming the
20 grid when all of the pieces of equipment plug in?

21 So for us, this is our next opportunity to
22 really address how we scale up. We have a lot of pilot
23 demonstrations that we're looking to, to provide really
24 meaningful input, not only for the port, but to the
25 terminal operators, who are seeing and learning and

1 kicking the tires on the equipment. So those have been
2 incredibly helpful and informative and they will continue
3 to be as we continue to roll out more equipment.

4 But for us, in order to really scale, we need
5 those master plans to cost effectively and strategically
6 deploy infrastructure. And it's absolutely a partnership
7 with our utility and making sure there's enough power
8 down at the ports to support that. And we do have
9 operators who have interests in hydrogen fuel cell.

10 So we are, you know, agnostic. We do not have
11 a preference for the zero-emissions types of vehicles
12 that they select. But there is a strong push for
13 electric. But we absolutely have folks interested in
14 hydrogen.

15 MS. FENTON: I'll just jump in quickly here.

16 In terms of building and resiliency and scaling
17 up, I mean, this is something that our customers are
18 going to be looking at. Quite honestly, we're still in
19 such early stages right now that, I mean, we will be
20 encouraging our customers, as they are purchasing. You
21 know, most fleets are going to purchase. There are just
22 a couple likely to purchase just a few vehicles at first
23 so that they can test them and make sure that they're
24 comfortable using them. But then as they scale up more,
25 obviously, the needs are going to go up.

1 And the smart thing to do is to try and future
2 proof and to make sure that it's resilient and they can
3 take -- have sufficient power when they do want to
4 purchase more vehicles. But it's hard for them to
5 envision what that means.

6 And that's really hard is that, you know, every
7 fleet is different. They're looking at their own
8 charging infrastructure. But as far as like grid
9 stability and things, that's kind of on a geographical
10 basis, it's on a regional basis, and fleets really don't
11 have the access to that.

12 And so this is where it's helpful, I think, for
13 the utilities or the Commission or, you know, has to play
14 that role in terms making sure that there is a good
15 stability and that plans are being looked at
16 holistically.

17 And which is why, actually, that public
18 charging stations are so important. I think that they
19 can really contribute significantly if located in key
20 areas. Now, obviously, a fleet is never going to
21 purchase vehicles and only rely on public charging, like
22 they do on gas stations today, or fueling stations. But
23 it's essential to get past that, you know, smaller number
24 of vehicles and really scaling up, if they know that
25 there are other places along the way they can fuel up and

1 not have to just go back to their home base.

2 Oh, and by the way, just on the hydrogen side,
3 I'm sorry, I didn't mean -- I forgot about that, I mean,
4 this is something that Volvo is interested in, that we're
5 looking at. We recently announced a joint venture with
6 Daimler in this area. But we definitely see that as a
7 longer-term option. We see the battery-electric trucks
8 coming to market much more quickly.

9 VICE CHAIR SCOTT: Great. Thank you all so
10 much.

11 MR. LU: Great. This is Jeffrey.

12 Commissioner Inman, did you -- you have your
13 hand raised. Did you have a question you wanted to
14 squeeze in?

15 COMMISSIONER INMAN: Yes. Yeah, I do. And I
16 just want to circle back.

17 And looking at -- Amanda, I think, brought up
18 reliability, the wildfires, the public service power
19 shutoffs that we've done. And I think we all
20 collectively really have to put our heads together. I've
21 given it a lot of thought. The fact that migrating from
22 partners that have had fueling choices and going to a
23 single provider, so to speak, is a much different
24 operation. And it's also, you know, we haven't been
25 deemed essential when it comes to our ports and goods

1 movement sector in terms of a Tier 1 when there's a power
2 shutoff. But, yet, clearly through the CV-19, we've all
3 been working and we've been deemed essential.

4 So I think collectively -- I know Vice Chair
5 Scott and I have had some discussions about what -- you
6 know, on the scale side and how do we collectively kind
7 of look at -- some of the things we're patching together
8 were designed under different times and rules and
9 guidance and everything. So I think for all of us, we
10 really have to look and make sure that we do have the
11 ability.

12 And when Commissioner Monahan talks about
13 negative pricing, I think that might solve some of
14 Amanda's concerns about the price of electricity as well.

15 So I think collectively we all need to just
16 really sit around the table and see what might be.

17 MR. LU: Great.

18 Any other Commissioners have any kind of
19 question before we move into the panel discussion? Okay.
20 Great.

21

22 I want to spend the remaining time diving
23 deeper into some of these topics that we just touched on
24 and, of course, the challenges associated with zero-
25 emissions vehicles in the off-road sector.

1 For this discussion, I'm going to be directing
2 some of the questions at individual panelists. But, of
3 course, any of the panelists, you're free to chime in if
4 you feel like it's appropriate.

5 But first, actually, I want to start off with a
6 question for all of you that I'd like to hear your
7 responses on. How has COVID-19 impacted your operations,
8 both for your company but, I think more importantly for
9 this discussion, your adoption of ZEVs as your fleet, or
10 if you're an OEM, your manufacturing, you know,
11 deployment of ZEVs?

12 Morgan, can we start with you?

13 MS. CASWELL: Sure. I'll give you just kind of
14 a high-level impact that we're seeing at the Port of Long
15 Beach, and then I'll dive into some of the demonstration
16 projects.

17 The Port of Long Beach, our container movement
18 is actually down 17.3 percent as of April of this year,
19 compared to April of 2019. We've seen imports drop by
20 20.2 percent, while exports dropped 17.2 percent. So
21 we're seeing significant impacts in our trade at a higher
22 level.

23 In terms of our technology advancement
24 projects, we've seen a mix of things. So some projects
25 are moving on successfully and meeting their timeline,

1 while others are significantly feeling the impact. For
2 example, we're seeing delays in equipment production,
3 equipment delivery, testing of the systems. There's a
4 lot of travel restrictions, so folks can't go out to the
5 terminals and start testing the equipment at the
6 terminal.

7 Some of the demonstrations have actually been
8 delayed. Their start dates have been delayed, whether
9 it's due to shifted priorities of really needing to focus
10 in on sanitizing and ensuring that labor, you know, is
11 maintaining social distancing, or whether or not there is
12 reduced volume through their operations and, thus, their
13 revenue has dropped significantly, so they may not want
14 to start with a demonstration. They may opt to pause any
15 insurance requirements on those new vehicles, so there's
16 some cost implications associated with our
17 demonstrations.

18 And then infrastructure installations. We've
19 seen some delays in infrastructure installations as well.

20 MR. LU: Yeah. And, Amanda, since BNSF, I
21 imagine, would closely mirror this since you also work
22 with freight. Can you talk a bit about the COVID impacts
23 for you and your --

24 MS. MARRUFFO: Yeah. Yeah. Absolutely. You
25 know, freight rail is, really, we consider ourselves the

1 backbone of the economy. And we move goods that make up
2 the nation's supply chain.

3 So in the rail industry, we've seen a huge
4 decrease in volumes, which has an impact on our budgets
5 and our expenditures. And this makes it that much more
6 difficult for us to push through an electrification
7 project, and that much more vital for us to get a lower
8 total cost of ownership when we're comparing a diesel to
9 electric project. We really want to see, you know, our
10 company leadership at this point, when we're seeing these
11 budget cuts, wants to see cost savings. So if that total
12 cost of ownership comparison of diesel to electric
13 doesn't show a lower or favorable for electric, then it's
14 going to be very difficult for us to get projects pushed
15 through at this time.

16 And we've also -- you know, the current pilot
17 projects that we're working on right now, our partners
18 are service partners who actually are the ones who
19 operate and will eventually own those pieces of
20 equipment. And, you know, we've seen some hesitation and
21 some nervousness with going forward and actually
22 executing the purchase of those equipment because of
23 what's happening right now with revenue.

24 And I think, you know, with COVID-19, right
25 now, what's going on, it's almost like a worst-case

1 scenario case study showing, you know, what do we not --
2 what is the worst thing to happen in this early worst-
3 case scenario, which is disruptions in the supply chain.
4 That's what we don't need at this critical time.

5 So this is really just demonstrating, and I'll
6 probably sound like a broken record, but this is
7 demonstrating why reliable and resilient electricity
8 service are so important in the goods movement because
9 disruptions in the supply chain, we're seeing right now
10 play out in front of us, that they have very vast and
11 cascading impacts.

12 MR. LU: And, Gary, as an OEM, can we get your
13 thoughts on outlook for -- your outlook for
14 electrification of ZEVs based on the recent events with
15 COVID?

16 MR. DANNAR: So, yes, we did have the impact to
17 the assembly process. We've been idle in that area for
18 about six weeks, although we're back to work now. The
19 supply chain has not been impacted for us that much
20 because we're using high-volume components and big
21 suppliers globally. It's too early to really be
22 confident about that.

23 I will say the one thing that has been noted is
24 the travel. It's the onsite pilot projects that we have
25 and the demonstration projects that have been interrupted

1 because of travel.

2 And a quick plug for CORE that CALSTART
3 mentioned earlier. We've been very fortunate to have
4 earlier participation on some of our orders with CORE.
5 And the reason that has been positive is some of these
6 governmental fleets are quite concerned about their
7 budgets and how they've been decimated due to COVID. And
8 so purchasing equipment, replacement equipment, a lot of
9 that has put some constraint on that.

10 On the other hand, emergency response, grid
11 storage, it seems to emphasize the importance of, you
12 know, our product being used as part of a microgrid or
13 part of grid storage and emergency response, so not much
14 impact there.

15 But the supply chain, we're concerned about
16 that. Long term will probably be the concern.

17 MR. LU: Thank you.

18 And, Dawn, I know you had touched on this in
19 your introductory presentation, but I'd like to hear your
20 thoughts on this as well.

21 MS. FENTON: Well, sure. We've been affected
22 as a company. And, obviously, the whole industry has
23 been affected.

24 In terms of Volvo specifically, I mean, we had
25 to shut down production globally for several weeks.

1 We're actually in the process of starting to get back up
2 again but it's at a reduced level, you know, a 25 percent
3 kind of level, so that affects production of all our
4 vehicles, so you know, not just the ZEVs but everything.

5 We've had to reduce consultants that are
6 working with us. We've cut back our own time. Budgets
7 in the company have been -- are cut. And so we have to -
8 - we've had to terminate certain projects or put certain
9 projects off for a bit.

10 You know, that said, as a company, we are
11 maintaining our commitment to move forward with our ZEV
12 vehicles. It is a high-priority item. And so despite
13 the cuts, significant cuts we're having to make
14 internally, we're not looking to reduce in that area.

15 But that said, though, it may mean that certain
16 applications, certain extensions to other applications
17 might get slowed down. I mean, it's really too early to
18 know. But we still have that strong commitment.

19 The real concern for us comes in what it means
20 for our customers because, obviously, they are
21 experiencing the downturn as well. And as, I believe,
22 Amanda said, it makes it all that more important to have
23 the incentives in place, both for the vehicle purchases
24 and for the charging infrastructure, because it's that
25 much more difficult for them to take on significant

1 purchases, and especially what's considered a risky
2 purchase.

3 MR. LU: Absolutely. And that's actually a
4 really good transition into Niki's comments on this.

5 Niki, since you worked with CORE and
6 (indiscernible), you're probably hearing a lot from
7 customers and working with them, who are going through
8 this incentive process. What are your thoughts on how
9 COVID has impacted all of it?

10 MS. OKUK: You know, when we originally
11 surveyed our participants to find out what their demand
12 was going to be for the rest of this year, most of them
13 were actually quite optimistic and positive and bullish
14 and saying that they were going to execute, sort of, on
15 their capital investment plans for the year.

16 However, I would caution that, you know,
17 everybody's going to be reassessing that at the close of
18 the fiscal year when they start doing their planning for
19 next year. And for that reason, I think it's just really
20 important that incentive programs like this don't send
21 start and stop signals, right, so they can allow end
22 users and purchasers and manufacturers to do that longer-
23 term planning.

24 I mean, if you run a trucking company, like
25 I've run a trucking company, every data is a crisis. And

1 you simply do not have the time in your day between
2 dispatching and maintenance and everything else to hunt
3 and peck for funding and different resources. It's like,
4 if you have a plan and you have a commitment to move
5 towards alternative fuel technology, you really need to
6 know that the funding is going to be available and
7 accessible right -- like all throughout the calendar,
8 whenever you get ready to do your purchase.

9 And so I just, I'm really working on trying to
10 make sure that everybody is trained and understands how
11 to access the funding, and making sure that it's
12 available, and the technology that they need is there
13 when they need it.

14 MR. LU: Yeah. Actually, I'd like to bounce
15 back to Dawn to follow-up the discussion on that.

16 Dawn, I know you've said many times that we
17 need a one-stop-shop for customers and that there's some
18 inadequacies in existing funding programs. Can you talk
19 a bit more about your experiences with that?

20 MS. FENTON: Well, in terms of the one-stop-
21 shop, I mean, that's something that I think we see as a
22 need. I mean, there's -- I can't say that we have any
23 experience with that because it doesn't exist quite now.

24 But what I can say is from the case of, say,
25 our Volvo LIGHTS Project, I mean, that is -- and it's

1 amazing how much we've learned on so many levels from
2 that project and we're not even halfway through it yet.
3 But, you know, I mean, just to pull that all together, to
4 get the charging infrastructure in place, to combine
5 different funding sources for that, it's very difficult.

6 And when I think about how, you know -- and in
7 this case, you know, Volvo is doing a lot of the work to
8 coordinate on behalf of the fleets. I mean, the fleets
9 aren't having to take it on themselves.

10 And so it really indicates to me that when a
11 fleet is not part of one of these major demonstration
12 projects and just wants to do it on their own, it's going
13 to be a bear trying to figure out, you know, do I go to
14 HVIP or someplace to get charging vehicle incentives? Do
15 I go to CEC to get charging incentives or is through the
16 PUC? Do I have to combine them? How do they work? Are
17 they timed the same so that the charging infrastructure
18 is going to be in when my vehicles come?

19 I mean, when everybody's going to different
20 sources and there's different timelines, you know, it's
21 hard to make sure that everything is going to operate
22 right at the same time and it's going to be very fluid.

23 And it hasn't been -- it's generally been good
24 with the Volvo LIGHTS Project, but there's a lot of
25 people working really hard to make sure that that

1 happens. And it's going to be very different when you
2 just have a fleet who's just trying to run their
3 business. This is, you know, extra work on their behalf
4 to try and make it all come together.

5 So that's why I think it's so important for
6 some kind of one-stop-shop so that a fleet can say, okay,
7 I want to buy my first five electric trucks, and so I go
8 to, you know, X department and I want to put in for my
9 vehicle incentives and I want to put in for the charging
10 infrastructure incentives and, you know, see what that's
11 going to -- how that's going to help bring down the cost,
12 and to make sure that it's all going to flow so I'm not
13 going to get delivery of my vehicles and then have them
14 sit there for, you know, six months or eight months
15 before I can actually use them. And the timeline,
16 advance timeline for trucks and for charging
17 infrastructure, is very different or I anticipate that it
18 will be very different going forward.

19 MR. LU: Yeah. To Morgan, I'm wondering if you
20 have anything to follow up on this? Because you had
21 mentioned, you know, the Port of Long Beach doesn't
22 operate any of the cargo handling equipment. But one
23 area where the Port of Long Beach does have a huge
24 influence when it comes to ZEVs is refueling
25 infrastructure, both for hydrogen and to -- and for

1 electricity. And you had mentioned earlier about those
2 infrastructure plans.

3 So can you talk about the planning that goes
4 into the infrastructure for the Port of Long Beach and
5 how incentives may or may not factor into that?

6 MS. CASWELL: Sure. So it's probably important
7 to clarify the relationship that we have with the tenants
8 and how we install infrastructure.

9 So typically the way that it works, and this is
10 how it works for shore power, when the first berth
11 regulation came out we, essentially as a service to our
12 tenants, installed the infrastructure. And then we had
13 an agreement through our lease with the tenants to recoup
14 that investment. So that's typically the way that we do
15 it.

16 On the grant projects, we don't look to recoup
17 any grant funding, but it does work similarly.

18 So in terms of when we go to do infrastructure,
19 we have a design-bid-build process, and that's standard
20 for any public agency, and it's long. So it can take
21 quite a while to get through infrastructure deployment if
22 the Port of Long Beach is doing that infrastructure on
23 behalf of the tenant.

24 There are some advantages. We know our
25 infrastructure. We know our terminals. And it's

1 something we're happy to do. But that's where we feel
2 like we really ought to look at this a little more
3 wholesomely and take a look at the entire terminal so
4 that we aren't unnecessarily spending more than we need
5 to in these piecemeal infrastructure projects.

6 So that's why we are taking this approach with
7 the Zero-Emission Infrastructure Master Plan. And the
8 pilot projects, which for the most part have been led by
9 the Port of Long Beach for the infrastructure, they've
10 been incredibly valuable for our engineering group to
11 really learn the challenges associated with putting that
12 infrastructure in.

13 In contrast, some of our tenants have actually
14 opted to utilize the Charge Ready Program, which has
15 been, you know, incredibly helpful in terms of funding.
16 And it's been, also, a little bit of a lessons learned
17 with SCE who, you know, hadn't done this kind of work for
18 us before.

19 So we're all continuing to learn on the
20 infrastructure side. We're happy to put in that
21 infrastructure on behalf of the tenant. But funding is
22 absolutely critical, you know, not just for us but for
23 them, long term as they look to recoup their investment
24 in infrastructure.

25 MS. FENTON: Jeffrey, you're on mute.

1 MR. LU: Sorry about that. Thank you.

2 Gary, I wanted to turn this to you because I
3 know this is probably different for you and your
4 customers who may be perfectly off the grid, who aren't
5 even working with the utility to bring out extra make-
6 ready.

7 So what goes into infrastructure planning, both
8 in terms of, you know, electrical readiness for -- I
9 believe you also have customers who look into hydrogen
10 fuel cell as well?

11 MR. DANNAR: That's right, Jeffrey. We did
12 have an off-road. This situation is much different than,
13 perhaps, what we're hearing today where fleets of
14 equipment are 24/7, and they're urban in nature, where a
15 grid is the cornerstone of the infrastructure.

16 When you do consider off-road equipment that's
17 used at a zoo, at an amusement park, at a resort, at a
18 commercial office park, there's a lot of equipment out
19 there in agriculture that don't even have a grid. And
20 they have relied on diesel generators to run diesel water
21 pumps and wells and so forth.

22 And Commissioner Scott brought this up earlier
23 with a question about scaling up. And, you know, we're
24 working with some agriculture producers and processors
25 that -- agriculturally, and they're wanting to scale up

1 into the hundreds of units. But they recognize they'll
2 have to have an infrastructure that is unique to them.

3 And I think that's the takeaway is we're not
4 going to have off-road infrastructure, charging
5 infrastructure, that works as easily as transportation.
6 Transportation was very simple, Level 2, Level 3, and
7 location, location, location, coming off the grid. Now
8 the solution will be some grid, some microgrid, some
9 battery storage onsite, some solar, maybe wind, a
10 biodigester, you know, onsite, producing electricity.
11 We're having to understand that technology across all
12 that and figure out what works best for the customers
13 that want to scale up. In a sense, they create their own
14 energy or they're managing their own energy, if that's --
15 if you follow that.

16 MR. LU: Yeah. Absolutely. Yeah. Completely
17 different approach when the grid isn't necessarily
18 available.

19 Continuing that light of charging, Amanda, I'm
20 wondering, I know BNSF already has several demonstration
21 projects with plugin electrified cargo handling
22 equipment. Have you run into any problems when it comes
23 to interoperability when -- like especially with charging
24 or charge ports?

25 MS. MARRUFFO: Yeah. Absolutely, we have.

1 And, you know, funny enough it was with -- under the same
2 OEM. So even with one OEM, you come across issues where
3 maybe they upgraded to a new model of vehicle and now
4 that existing charging infrastructure or charging station
5 that you installed is no longer compatible with that new
6 vehicle model. So basically what you did as an early
7 adapter, you're sort of now being hurt for those early
8 decisions.

9 And I think Gary had used this term earlier,
10 and I don't know if I'm going to use the term correctly,
11 but he said, attachment agnostic. So, to me, that means,
12 you know, any attachment, any connection can work. You
13 have this interoperability. And that's what we need
14 between the OEMs, both for the chargers and the vehicles.
15 Because what we're seeing is we're going in a direction
16 of having smart chargers, which usually the vehicle OEMs,
17 that's not their expertise, that's not their realm of --
18 they don't necessarily know the charging technology. So
19 we're seeing a divergence in having a different OEM for
20 the charger and now a different OEM for the vehicle.

21 So I think that interoperability is going to
22 become even more of an issue as we see more OEMs come
23 into the field.

24 MS. OKUK: You're muted, Jeffrey.

25 MR. LU: Sorry. My space bar doesn't seem to

1 be working.

2 Dawn, as an OEM, did you have any thoughts on
3 that sort of interoperability of working with you
4 creating the vehicle but also ensuring that charger
5 manufacturers are able to support that vehicle?

6 MS. FENTON: Well, yes. I mean, there's a lot
7 going on in the space right now. I mean, I was, you
8 know, nodding to Amanda. It is a different world in the
9 sense that, you know, we're a vehicle OEM. We're not
10 into the charging infrastructure and so we have to count
11 on, you know, EVSEs and others to manufacture those goods
12 and to incorporate to work together with them to figure
13 out a good solution.

14 In terms of, you know, common -- the OEMs, the
15 truck OEMs are working together. And there is work going
16 on now in terms of having standards in place, looking to
17 make sure that charging ports are all located in the same
18 place. There are different charging standards that exist
19 right now. It's just a function of the fact that we're
20 at the very beginnings of this transition. It's just the
21 nature of going through something so new. And we're
22 learning from all this. I mean, there are different
23 chargers, different speeds of charging. And what's right
24 for one customer may not be right for another customer.

25 And so in these early days, you have to have

1 different options available so that you have the
2 experience to learn what works best. And then,
3 obviously, after you've had several of these experiences,
4 and I don't mean just Volvo or just a certain fleet but I
5 mean across the industry, then you can try and hone down
6 and get it to the point that it makes the most sense once
7 you get past those early adopters and you get to me more
8 massive scale.

9 But, yeah, it's a time of learning and
10 transition and -- but we will get there. We will get
11 there.

12 MR. LU: Indeed, we will.

13 You know, we've had this discussion about some
14 of the background, logistical charging, how do you
15 incorporate that into it? I mean, but I kind of want to
16 hear about what operators of these vehicles in these
17 pilot demonstration projects have been saying. Because,
18 ultimately, these are the folks who will be using the
19 vehicles. We need to know their thoughts as well.

20 Niki, I'm sure you've gotten a lot of feedback
21 through HVIP and CORE recipients. What have you been
22 hearing from people who have adapted some of these ZEVs
23 into their fleets?

24 MS. OKUK: Yeah. I think -- I don't want to
25 sound like a broken record, but the one-stop-shopping is

1 important, right, this ability to purchase a vehicle and
2 the truck at the same time. But the thing that I think
3 I've learned and is interesting is that you have to
4 flexibility in that relationship. Because the person who
5 owns the vehicle is not always the person who owns the
6 charger. And this is definitely true in off-road
7 applications; right? You have terminals and ports and
8 rail yards. And you have third-party operators that are
9 using real estate that's owned by someone else.

10 It's definitely true in the on-road
11 applications; right? You have fleets that lease these
12 properties. And the chargers, you know, go like hand-in-
13 hand with the equipment, but then, at some point in their
14 life, maybe be separated from the equipment.

15 And I think being -- sort of being flexible to
16 understanding those relationships has been a learning
17 curve. Very often, you know, funding will have, you
18 know, a rule attached to it, like you can install a
19 charger if you can show that you're purchasing a vehicle,
20 or something like that. Well, if they're -- but if
21 they're not being purchased by the same parties, they're
22 not going to be owned by the same parties. They may
23 eventually be used in other different future
24 applications.

25 So while it's important to have funding

1 available and accessible and simple and in one place,
2 it's also important for it to be flexible, adaptable, and
3 sort of understanding to the fact pilots and demos are
4 very often executed in sort of the perfect scenario,
5 right, where you have all the stakeholders onboard;
6 right? Dawn was giving this perfect example of Volvo
7 LIGHTS. You've got all these entities that are
8 coordinating. But when we move past, when we go to
9 scale, when we're past pilots and demos and we're
10 commercializing this technology, there will very rarely
11 be those perfect scenarios. Every single one will be
12 different.

13 MR. LU: Um-hmm. Morgan, I'd like to enlist
14 you as well. You know, you have plenty of demonstration
15 projects at the Port of Long Beach. How are these
16 operators or these drivers feeling about these vehicles?
17 And how do they share their learnings with each other,
18 you know, with all the other tenants at the port?

19 MS. CASWELL: Sure. Yeah. So the feedback
20 we've gotten thus far is predominantly positive from the
21 folks that are actually driving the equipment. They like
22 that it's quieter. They like that it's brand-new.

23 Everyone wants to be in the brand-new piece of equipment.
24 So as long as this, you know, meeting the duty
25 cycle that it needs to meet, the reaction is, generally,

1 positive. For the actual operators of the terminal the
2 same is true.

3 On the flip side, if it doesn't go well or the
4 relationship with that developer or the OEM or the
5 technology developer, you know, isn't solid, that
6 information is shared across terminals. So they do
7 actively speak to one another. And for many of our
8 projects, they're going well, and that has translated to
9 other terminals. And they start to have interest in
10 pieces of equipment or charging solutions that maybe they
11 hadn't considered before but because it worked at a
12 different terminal, they're really intrigued and they
13 want to be part of it as well. So they do talk to one
14 another.

15 The port, also, jointly with the Port of Los
16 Angeles, pulled regular, what we call our cap
17 implementation meeting or cap stakeholder meetings, where
18 we get -- all of our stakeholders are invited to come to
19 the port -- and in the future we'll probably be virtually
20 come to the port -- and discuss, you know, some of the
21 lessons learned of the technology projects. And we try
22 to inform them on what we're seeing. And we're
23 absolutely looking for them to speak to one another and
24 to engage with us on what their experience has been. So
25 we try to create a more regular platform for folks to

1 interact with one another but also to interact with the
2 ports and to hear how our demonstration projects are
3 going.

4 MR. LU: Yeah. Do any of the other panelists
5 want to chime in on this topic, sort of scaling beyond
6 demonstration into regular ZEV adoption?

7 MS. FENTON: Yeah. Just to build on a couple
8 of things that Morgan said, yes, I think that getting
9 back to the operation of the vehicles, I mean, you know,
10 generally speaking, people love driving these vehicles.
11 I mean, they're so cool and easy to operate. I mean, I
12 drove one of the all-electric, the new all-electric Class
13 A trucks. And it is just so much easier. And I've heard
14 from people who operate these regularly, what a
15 difference it makes in terms of the sound, and little
16 things I wouldn't even think of.

17 I mean, we did a video for one of the -- on the
18 Volvo LIGHTS Project and somebody was saying that it
19 makes it cooler because they're not sitting -- this is
20 for the freight handling equipment, not trucks, but
21 they're not sitting on top of a hot engine and so it's
22 actually cooler as well. So there's a lot of benefits to
23 that.

24 And as you know, not just in this world but in
25 every realm, I mean, news travels fast. And that goes

1 whether it's good news or whether it's bad news. And so
2 it's great from the good news standpoint when things go
3 well.

4 But this is why -- and this is why, with the
5 Volvo LIGHTS Project, we're working very hard to try and
6 get information out about this, about the positives of
7 the project, and also the challenges to avoid others
8 having to engage or maybe minimize the challenges that
9 they have. Because the worst thing that can happen is
10 that if, you know, people get a bad first experience and
11 then they're not coming back.

12 And that's one of the things that we're
13 concerned about, especially when it comes to fleets
14 adopting, you know, their first few trucks. I mean, if
15 it's not a relatively painless endeavor, they're not
16 going to go forward with more. And they're going to --
17 the word is going to spread and then others are not going
18 to take it on either.

19 So that's why it's so important to make it easy
20 for those initial fleets to get access to the funding and
21 the infrastructure that they need and have a good
22 positive experience.

23 MS. MARRUFFO: This is Amanda. I just have one
24 thing to chime in, if I could?

25 So BNSF had a very different experience in

1 terms of when we first rolled out our electric vehicles
2 operated by our service partner. They did not like
3 operation of the electric vehicles for many different
4 factors, many different reasons. But I would say it took
5 about a year-and-a-half of working hand in hand with them
6 to get them comfortable, you know, also the OEM working
7 very closely with us in making modifications to the
8 vehicles. Because one of the things that we noticed is
9 the more different that the electric vehicle is from its
10 diesel counterpart the longer that adoption period is
11 probably going to be because people are creatures of
12 habit. They have to get used to something that's
13 different. And for some folks, it's just, it takes
14 longer than others.

15 So I just wanted to say that our experience was
16 a little bit different but we eventually got there.

17 MR. DANNAR: So, Jeffrey, I might add just a
18 couple of points that haven't been brought up regarding
19 the user experience in the fleet to managers is
20 maintenance and autonomy.

21 Everybody has stated exactly the same cases,
22 we, as far as operators, liking the extra performance and
23 liking how quiet it is and so forth, but noticeably
24 different on off-road work machinery, backhoes,
25 trenchers. And, you know, all this working equipment is

1 about one-tenth the maintenance. That increases
2 productivity. And it's noticeable that the equipment can
3 be safer and more productive for the fleets.

4 But the autonomy and semi-autonomous, the large
5 global OEM manufacturers are not investing a lot of
6 autonomy into diesel equipment. But with electric
7 equipment, now you can start assisting the operator. And
8 the operator has an easier time of operating the
9 equipment when there's some assistance, some intelligence
10 onboard that is, perhaps, adding not only safety but more
11 productivity, more performance.

12 So we've seen very eager adoption of work
13 machinery that is doing something unique with the semi-
14 autonomous operation and in the lower maintenance.

15 MR. LU: Great points. Thank you all for
16 chiming in on that.

17 We have four minutes left of this presentation
18 -- excuse me, panel discussion.

19 I wanted to actually circle back to Román's
20 presentation earlier, his being on equity.

21 Niki, this one's for you. I want to know your
22 thoughts on how CALSTART is considering -- well, I guess
23 CALSTART is in administering (indiscernible), how we're
24 considering equity and quality of life in terms of for
25 our communities which are disproportionately impacted by

1 pollution? How can we build that into electrifying
2 fleets and switching over to ZEVs?

3 And, Niki, you're on mute right now.

4 MS. OKUK: Of course. The program was designed
5 to have and create a voucher incentive for equipment that
6 are deployed in overburdened communities. So for the
7 CORE Project, about a ten percent additional funding for
8 vehicles that are operating in designated DACs and low-
9 income communities, as defined by CalEnviroScreen.

10 Now all of that said, it also follows, though,
11 that most of the vouchers are deployed in those
12 communities because those communities are where our
13 freight hubs are. So we find that two-thirds of the
14 funding ends up being spent in operations in those
15 designated areas just sort of naturally. But definitely,
16 you know, going out of our way to make sure that our
17 outreach efforts, our educational efforts, our
18 coordination efforts are really focused on the areas that
19 are experiencing the highest rates of, especially,
20 particulate pollution, now more than ever; right?
21 Because we have now a sort of combined public health
22 crisis that's only exacerbated by sort of long-term
23 exposure to these types of pollution.

24 So we've been working really hard on that but
25 we also, you know, understand that it is more and more

1 difficult to access sort of the more equity portion of
2 the project as far as delivering the dollars into the
3 hands of minority-owned and diverse-owned businesses;
4 right?

5 We do find that the businesses come back again
6 and again once they've used the voucher program. I look
7 back over the ten years of, say, an HVIP project, and the
8 same company, if they, you know, they bought a bus or
9 bought a truck a few years ago will come back and
10 purchase again using the system, so once they learn it.
11 But, you know, larger companies with greater resources
12 and staff that are dedicated to these types of things can
13 access this funding a lot easier.

14 And so it really is imperative for us to go the
15 extra mile to make sure that we can find those small
16 businesses, those owner/operators, the smaller fleets, so
17 that they can have access to this funding as well.

18 MR. LU: Um-hmm. Did any of the other
19 panelists want to chime in on building equity into these
20 projects before we transition into ZEVs?

21 MS. CASWELL: Sure. I'll jump in.

22 I think what Niki described is absolutely true.
23 And, you know, making sure that you're targeting
24 investments in those communities most burdened by freight
25 operations is absolutely critical.

1 I think there is quite a few opportunities that
2 Román had discussed. And one major opportunity is, you
3 know, ensuring you have equity goals built into some of
4 these projects.

5 So, for example, we have an explicit equity
6 goal for our microgrid project, and it's CEC funded. And
7 through that project the port will work with the
8 International Brotherhood of Electrical Workers to ensure
9 20 percent of all journeymen hours related to
10 installation of the microgrid will be matched with
11 appropriate apprentices who are sourced from the local
12 dispatch facility. So making sure that these
13 opportunities are maintained in the port area where the
14 communities are most impacted.

15 We can also do other things, like invest in
16 curriculum development or training or do a better job of
17 linking job opportunities in freight and goods movement,
18 where we expect to see expansion, with the local
19 community. And that's something our Communications
20 Division has been pretty focused on.

21 MR. LU: Great. Thank you so much.

22 We are at 11:40, so I want to take a moment
23 just to thank all the panelists for taking the time and
24 joining us today to discuss these topics.

25 Unless anybody else has some point they're just

1 dying to make, I think I'm going to hand it off to
2 Heather for the next section of this workshop. Any last
3 points? All right. Great. Thank you to all of you.

4 MS. RAITT: All right. This is Heather,
5 Heather Raitt.

6 Thank you, Jeffrey, and thank you to our
7 panelists. That was a really great discussion. I
8 appreciate you giving your time here today to share your
9 expertise on these important topics.

10 Now it's time to turn to the public comments.
11 And so we are allowing one person per organization to
12 make comments please. And we're going to limit comments
13 to three minutes per speaker.

14 If you're using the Zoom platform, use the
15 raise-hand feature to let us know you'd like to comment.
16 And if you change your mind, you can also just use that
17 to un-raise your hand. We'll call on you and open up
18 your line to make comments at the right time.

19 We also have folks on the line that aren't on
20 the Zoom platform. And you can just press star nine to
21 raise your hand and we will read out the last three
22 digits of your phone number at the appropriate time.

23 And, finally, we have a lot of comments on Q&A.
24 And we, unfortunately, won't be able to go through them
25 all but we will read some of them.

1 And, panelists, some of them are questions to
2 things that you spoke on. So if you would like to
3 respond, you may, or we can just read them for the record
4 and that's fine too.

5 So Lindsey Buckley, the Director of
6 Communications and External Affairs at the Energy
7 Commission, is going to conduct the public comments for
8 us for this session.

9 Thank you, Lindsey, if you want to take it?

10 MS. BUCKLEY: Thank you, Heather.

11 Okay, so I'm going to first call on folks that
12 are using the raise-hand feature on Zoom, so please state
13 your name and affiliation for the record, and also spell
14 your first and last name after you're un-muted and before
15 commenting. Folks are going to be limited to three
16 minutes, so please be watchful of the clock or we will go
17 ahead and help you out with that.

18 So the first person I'm going to call on is Tim
19 Sasseen.

20 And, actually, Harrison, it looks like you
21 might need to un-mute on your own because I'm not seeing
22 the un-mute option on my end as the co-host.

23 MR. SASSEEN: Hi. This is Tim Sasseen. Am I
24 coming through?

25 MS. BUCKLEY: Oh, Tim, you are coming through,

1 yes. So your line is open. And please just state your
2 name and affiliation and spell it for us also.

3 MR. SASSEEN: All right. Technological
4 success. My name is Tim Sasseen. I'm the Market
5 Development Manager for California for Ballard Power
6 Systems.

7 I'd like to thank the California Energy
8 Commission for putting on these panels over the next
9 couple of days. This is really important work and really
10 informative.

11 I have a question, I guess, for the Port of
12 Long Beach, moreover, talking about the balance that's
13 been spoken about between battery-electric vehicles and
14 hydrogen-electric vehicles. Battery-electric vehicles
15 are, obviously, very well suited for applications that
16 require noncontinuous duty and that have flexible
17 charging schedules. We know there's going to be great
18 applications at the port for those. Hydrogen fuel cell
19 vehicles are going to do well for vehicles requiring
20 continuous duty and that require rapid refueling.

21 The question then comes down to how to balance
22 those out and how to prepare for infrastructure? Because
23 we're looking at infrastructure here that's going to be
24 decades in utilization and cost trajectories that are
25 changing rapidly for both technologies.

1 So how do you address that balance between the
2 two technologies when you have to do so much preparation
3 for infrastructure, knowing the difficulties and bringing
4 in new interconnections through the L.A. Basin and the
5 tens of megawatts for grid charging, as opposed to moving
6 fuel back and forth?

7 So that's my question, and how do you consider
8 that balance between the two different vehicle
9 technologies?

10 MS. CASWELL: Sure. I can go ahead and answer
11 that quickly.

12 It absolutely will be a balance and it will --
13 we are absolutely supportive of both technologies. We
14 have had fuel cell demonstration projects and those have
15 been critical to advancing some of the lessons learned
16 associated with how do you fuel, you know, the equipment,
17 given we don't have the infrastructure for it today? A
18 lot of them are bringing in, you know, the mobile
19 refuelers.

20 But long term, looking at it, you know, that's
21 going to be a conversation that the port has with each
22 tenant on our own to identify what makes most sense for
23 their operations. And through that master planning
24 process the hope is that we would identify specifically
25 the equipment that needs to go in and then the associated

1 infrastructure and what that heavy lift is going to look
2 like.

3 From the port's perspective, we also need to
4 take a step back and say if we've got multiple terminals
5 with interest in using the fuel cell technology, which
6 that may be the case, how do we prepare for that as a
7 port? So that's a balance we're going to continue to try
8 to strike. And we're actively working on that on a
9 terminal-by-terminal basis.

10 MR. SASSEEN: Thank you.

11 MS. BUCKLEY: Okay. Thank you.

12 Next up we have a participant who is named
13 CTE11.

14 Participant CTE11, we are un-muting your line.
15 You may need to un-mute on your end. If you could please
16 state your name and affiliation for the record, and also
17 spell your first and last name?

18 MR. LEVIN: Sure. This is Jaimie Levin,
19 spelled
20 J-A-I-M-I-E, Levin, L-E-V-I-N, with the Center for
21 Transportation and the Environment. And, also, I would
22 like to thank the Commission for putting on this, I
23 think, really valuable workshop.

24 Several speakers and Commissioners raised the
25 challenges of how we are going to afford this transition

1 to zero-emission, which we all recognize is critical to
2 our long-range state goals. And in making that
3 transition with really scarce dollars that we have, as
4 much money as the State of California has raised, we are
5 looking at scarce dollars impacted by COVID and the like,
6 it's going to be so important that we evaluate solutions
7 from a performance-based standpoint.

8 And I thought it was very interesting. Román,
9 in his presentation about equity, many of the --
10 especially we see this in the drayage operation, many of
11 the end users, the fleet operators, are independent
12 truckers who require applications that will meet a number
13 of different duty cycles that, therefore, are based on
14 performance evaluation criteria.

15 So I wanted to throw this out to the panel, how
16 -- essentially asking the question and asking you to
17 comment on the importance of understanding the business
18 aspect of operating our ports, operating off-road
19 vehicles, and of course, this bridges over to on-road
20 vehicles as well, in order to utilize our dollars
21 effectively on both vehicles and infrastructure?

22 Thank you.

23 MS. BUCKLEY: Thank you very much for that
24 comment.

25 If any of the panelists want to respond, please

1 jump in. Otherwise, we will move to the next public
2 comment.

3 Again, just a reminder, this is a public
4 comment period. If you are intending to submit written
5 comments, you can do so. Please raise your hand to
6 submit your three minutes of public comment in the
7 meantime.

8 So we're going to go to our next commenter with
9 the raised-hand feature.

10 Eileen Tutt, we are un-muting your line. You
11 may also need to un-mute on your end. If you could
12 please state your name and affiliation for the record,
13 and also spell? Eileen?

14 MS. TUTT: Hi. This is Eileen Tutt,
15 E-I-L-E-E-N T-U-T-T. And I'm with the California
16 Electric Transportation Coalition.

17 And I heard throughout this conversation, which
18 was fabulous, by the way, really. I want to thank your
19 group again. And, Jeffrey, great job moderating. And a
20 really good presentation by Greenlining.

21 We heard a lot of issues about infrastructure
22 challenges. And, in fact, Volvo went as far as to say --
23 Dawn, you said that infrastructure is the single largest
24 challenge in this sector. I don't know that I agree with
25 that because I think one of the other single largest

1 challenges that came up is we don't have adequate or
2 reliable funding for these incentive programs. And right
3 now, with the governor's budget that was -- if the May
4 revise is passed, then these programs will all go on
5 hold. So we really -- that is a huge challenge in my
6 mind and one that is absolutely immediate and critical.

7 But I do want to just say that, you know, at
8 the California Electric Transportation Coalition, we have
9 -- our members include every single utility in the state
10 for the most part. And I do think that this is a
11 uniquely daunting challenge, and also an incredible
12 opportunity. So, you know, we can create -- we can
13 install this infrastructure in the time needed and we can
14 do it at costs that are reasonable. And we've done a lot
15 of analysis around this so we know this is true.

16 But we do need a more coordinated public-
17 private effort. And we have called for the creation of
18 some kind of task force or implementation team, call it
19 what you like, but we believe we need cross-agency
20 coordination, but also public-private coordination. So
21 we need a public-private partnership to really make this
22 happen effectively and to address the many challenges
23 that infrastructure presents, and embrace and make sure
24 we recognize and grab the many opportunities that this
25 infrastructure build-out provides, not just economic

1 opportunities and the opportunity to really go all in for
2 zero-emission transportation, but also jobs
3 opportunities, and jobs opportunities that are in
4 communities that are most deserving of those jobs and
5 most in need of those jobs.

6 So just wanted to put that out here. And
7 anybody who can help, we've got to get this thing up and
8 running and this kind of task force, or whatever you want
9 to call it, group, public-private partnership created so
10 we can get on this challenge and make sure that we meet
11 it in a very equitable way.

12 So thank you.

13 MS. BUCKLEY: Thank you, Eileen.

14 Next up for public comment is Meredith
15 Alexander.

16 Meredith, we are un-muting your line. You may
17 need to un-mute on your end. Again, please state your
18 name and spell it for the record. Meredith?

19 MS. ALEXANDER: Hi. Can you hear me?

20 MS. BUCKLEY: Yes. Thank you.

21 MS. ALEXANDER: Okay. Great. My name is
22 spelled M-E-R-E-D-I-T-H, Alexander,
23 A-L-E-X-A-N-D-E-R. And I am with CALSTART. I am our
24 Policy Director. And just wanted to make a few
25 statements.

1 I very much appreciate Niki's presentation and
2 so glad that she could participate. And thank you for
3 including CALSTART in this morning's workshop.

4 I, following Eileen, have less to say than I
5 may have before. But I did just want to highlight for
6 the Commissioners and other participants that, you know,
7 we just launched this wonderful program, CORE, a few
8 months ago and it's been so popular, as Niki highlighted.
9 But funding for this program going forward is now
10 incredibly uncertain, as well as for the types of
11 projects that BNSF so helpfully highlighted.

12 You know, we're making just incredible
13 technological progress and we're really poised at what we
14 think is a tipping point for these technologies.
15 Manufacturers are bringing new products to market. You
16 know, we're really seeing all these technologies become
17 real that we have been trying to, you know, create over
18 the past five to ten years. And, unfortunately, now
19 we're at the point where technology is available in this
20 space and, yet, the state is not indicating that there
21 will be incentive funding going forward.

22 And so we really think all this progress is
23 just really at risk. And, obviously, the Energy
24 Commission has such an important role to play with its
25 Clean Transportation Program. And you all have been

1 focused on the infrastructure piece, you know, to date
2 for off-road and developing new incentive programs for
3 medium- and heavy-duty. So we just wanted to highlight
4 that it may be that the GGRF is such an unreliable source
5 of funding for these technologies that the Clean
6 Transportation Program, you know, needs to, perhaps, step
7 back into the, you know, pilot and demonstration role for
8 these off-road technologies, as well as potentially
9 considering equipment or, you know, vehicle incentives if
10 GGRF is not going to be able to fund programs like CORE
11 moving forward or fund pilot and demonstration projects
12 in the off-road sector.

13 Thank you very much for your time. And thank
14 you again for having this workshop, Commissioners.

15 MS. BUCKLEY: Thank you, Meredith.

16 That takes us through all of the raised hands
17 that we're seeing on Zoom.

18 And so at this point I'm going to read off
19 several of the comments that came through on the Q&A box.

20 So one comment from H.E. Christian, Chris
21 Peoples (phonetic), is,

22

23

24 "The charging infrastructure issue is solved by going to
25 hydrogen-electric heavy-duty vehicles. You have the

1 different problem of hydrogen stations. But I submit
2 that this is a simpler problem than charging stations run
3 by utilities with geographic monopolies.”

4 The next comment that we have through the Q&A
5 box, Antonio has submitted a comment.

6 “I appreciate the valuable discussion here today. I
7 believe that zero-emission goals, while highly
8 focused on battery-electric vehicles, will also be
9 achieved with the diverse option of technologies
10 where these can work well together and complement
11 each other. Unfortunately, most of this coordinated
12 approach seems to be absent throughout the ZEV
13 dialogue.

14 “Today I heard the representative from Volvo noting
15 SCEV (phonetic) as a longer-term alternative for
16 Volvo. It is important to recognize that other OEMs
17 have been engaged and are investing in the
18 development and near-term deployment of SCEVs.

19 “Significant progress has been made in the last few years
20 through collaborative efforts among industry, as well as
21 in close coordination with governments. I’d like to
22 learn about CEC and government incentives and policy
23 tools that will aim to bring a balanced and equal market
24 opportunity for both the ZEV technology options.”

25 And the next comment that I’m going to read is

1 from a Dee Lisa (phonetic) who is targeting this comment
2 at Niki, one of our panelists. And they say,

3 "In addition, hydrogen stationary fuel cells provide
4 resilient backup power to support telecommunication
5 sites. Currently, the South Coast Air Quality
6 Management District is using an H2FC backup
7 generator to provide tenth prime power to an air
8 quality monitoring project, complete story to be
9 released soon by the South Coast Air Quality
10 Management District."

11 And that is it in terms of the comments that
12 were submitted through the Q&A box.

13 And with no more hands raised or comments in
14 the Q&A box, we'll just remind folks again, you do have
15 the option to submit written comments today. The
16 instructions should be on the screen here for you.

17 And with that, I'm going to hand things back to
18 Heather.

19 MS. RAITT: Thanks, Lindsey.

20 This is Heather. And I don't have anything
21 more to add, so Commissioner Monahan, if you wanted to
22 make any further remarks? Thanks.

23 COMMISSIONER MONAHAN: No. I just want to
24 thank everybody. Thanks to the team, again, the IEPR
25 Team for pulling together, and the whole Transportation

1 Division for setting up the agenda, all our panelists.
2 We really appreciate it. Again, this is our first time
3 ever using Zoom for an IEPR meeting. And I think, I
4 mean, it went pretty well, all things considered. We
5 were chatting a lot in the background. You all couldn't
6 see that but there was a lot of chats about what to do.
7 And I feel like we learned a lot. We're going to keep
8 using this platform. We're going to keep getting better
9 at this platform. And just thanks, everybody, for
10 participating and hope you rejoin us for the afternoon.

11 MS. RAITT: Thanks. We'll close out and see
12 you this afternoon. Bye everybody.

13 (The workshop concluded at 11:59 a.m.)

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 23rd day of June, 2020.



MARTHA L. NELSON, CERT**367

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



MARTHA L. NELSON, CERT**367

June 22, 2020