

**DOCKETED**

<b>Docket Number:</b>	20-IEPR-04
<b>Project Title:</b>	Microgrids
<b>TN #:</b>	234952
<b>Document Title:</b>	Transcript 7-9-20 - IEPR COMMISSIONER WORKSHOP ON ASSESSING THE FUTURE ROLE FOR MICROGRIDS IN CALIFORNIA S3
<b>Description:</b>	7-9-20 SESSION 3: RESIDENTIAL MICROGRIDS AND EMERGING MICROGRID TECHNOLOGIES
<b>Filer:</b>	Raquel Kravitz
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	9/29/2020 3:59:59 PM
<b>Docketed Date:</b>	9/29/2020

BEFORE THE  
CALIFORNIA ENERGY COMMISSION

In the matter of:

	)	
	)	Docket No. 20-IEPR-04
2020 Integrated Energy Policy	)	REMOTE ACCESS WORKSHOP
Policy Report Update	)	
<u>(2020 IEPR Update)</u>	)	

**IEPR COMMISSIONER WORKSHOP ON  
ASSESSING THE FUTURE ROLE FOR MICROGRIDS IN CALIFORNIA**

REMOTE VIA ZOOM

**SESSION 3: RESIDENTIAL MICROGRIDS AND EMERGING MICROGRID  
TECHNOLOGIES**

THURSDAY, JULY 9, 2020

2:00 P.M.

Reported By:  
Martha Nelson, Cert. 00367

Commissioners and Executives

Janea A. Scott, CEC Vice Chair

Karen Douglas, CEC Commissioner

Genevieve Shiroma, CPUC Commissioner

Neil Millar, California ISO Vice President, Transmission  
Planning & Infrastructure Development

CEC Staff

Heather Raitt, Assistant Executive Director, Policy  
Development

Mike Gravely

RoseMary Avalos, Public Advisor's Office

Panel 1:

Giovanni Damato, Principal Project Manager, Electric  
Power Research Institute (EPRI), Moderator

Jason Caudle, City Manager, City of Lancaster

Richard Schorske, Executive Director, ZNE Alliance

Haresh Kamath, Senior Program Manager of  
Distributed Energy Resources and Energy Storage,  
Electric Power Research Institute

## APPEARANCES (CONT.)

Panel 2:

Elisa Wood, Editor-in-Chief, Microgrid Knowledge,  
Moderator

Alex Morris, Executive Director, California Energy  
Storage Alliance

Jack Brouwer, Professor and Director of National  
Fuel Cell Research Center, UC Irvine

Julia Levin, Executive Director, Bioenergy  
Association of California

Public Comment

Chris Ball, Microgrid Team, Bloom Energy

Laura Nelson, Executive Director, Green Hydrogen  
Coalition

Robert Perry

Claire Broome, 350 Bay Area, Adjunct Professor of Public  
Health

Allie Detrio, Microgrid Resources Coalition

Diane Moss, Policy Director, California Hydrogen  
Business Council

## INDEX

	Page
Introduction	6
Heather Raitt, Assistant Executive Director, Policy Development, CEC	
Opening Remarks	8
Janea A. Scott, CEC Vice Chair	
Karen Douglas, CEC Commissioner	
Genevieve Shiroma, CPUC Commissioner	
Neil Millar, California ISO Vice President, Transmission Planning & Infrastructure	
Panel 1: Increasing Residential Reliability During Grid Disruptions, PSPS Events, and Responding to Wildfire Events	8
Moderator: Giovanni Damato, Principal Project Manager, Electric Power Research Institute	
Jason Caudle, City Manager, City of Lancaster	
Richard Schorske, ZNE Alliance	
Haresh Kamath, Senior Program Manager of Distributed Energy Resources and Energy Storage, Electric Power Research Institute	
Panel 2: Emerging Technologies to Extend Islanding	45
Moderator: Elisa Wood, Editor-in-Chief, Microgrid Knowledge	
Alex Morris, Executive Director, California Energy Storage Alliance	
Jack Brouwer, Professor and Director of National Fuel Cell Research Center, UC Irvine	
Julia Levin, Executive Director, Bioenergy Association of California	

## INDEX (CONT.)

	Page
Public Comments	80
Closing Remarks	93
Adjournment	98
Reporter's Certificate	99
Transcriber's Certificate	100

1

## P R O C E E D I N G S

1  
2 JULY 9, 2020

2:00 P.M.

3 MS. RAITT: All right. So, it's two o'clock, so  
4 we can go ahead and get started. Good afternoon  
5 everybody, welcome to today's Workshop on Assessing the  
6 Future Role for Microgrids in California. This is part  
7 of the proceeding for the 2020 IEPR Update.

8 I'm Heather Raitt, the Program Manager for the  
9 Integrated Energy Policy Report, or IEPR for short.

10 Today's workshop is being held remotely,  
11 consistent with Executive Orders N-2520 and N-2920, and  
12 the recommendations from the California Department of  
13 Health to encourage physical distancing to slow the  
14 spread of COVID-19.

15 This workshop is being held in three sessions,  
16 over two days, to encourage participation, and this is  
17 the third and final session. And we'll be addressing  
18 Residential Microgrids and Emerging Microgrid  
19 Technologies.

20 The meeting is being recorded. We'll post the  
21 recording and a written transcript on our website.

22 Today's presentations are also posted on our website.

23 And if you were in the prior sessions, we will  
24 continue using the Q&A function in Zoom, with the  
25 capability to vote on questions posed by others.

1           Attendees may type questions for panelists by  
2 clicking on the Q&A icon. Before typing a question,  
3 please check to see if someone else has already posed a  
4 similar question. If so, you can just click the thumbs  
5 up to vote on it and that will move it up in the queue.

6           We'll reserve five minutes at the end of each  
7 panel for attendee Q&A. And given the time  
8 restrictions, it's unlikely that we'll be able to  
9 elevate all questions received.

10           I'll now go over how to provide comments on the  
11 materials today. There will be an opportunity for  
12 public comments at the end of the session. Please note  
13 that we will not have time for the panelists to answer  
14 questions during the public comment period.

15           In Zoom, click the raise hand icon to let us  
16 know you'd like to make a comment. And if you change  
17 your mind, just click it again and that will put your  
18 hand down.

19           For those on the phone, not using Zoom, press  
20 star 9 to raise your hand. And when it gets to be  
21 public comment time, we will open your line one at a  
22 time during that period.

23           Alternatively, written comments after the  
24 workshop are welcome and they're due July 30th. Again,  
25 the notice gives you all the information for providing

1 comments.

2           And with that, I'll turn it over to Vice Chair  
3 Scott. Thank you.

4           CEC VICE CHAIR SCOTT: Okay, thank you very  
5 much, Heather. Welcome back everybody. This is, as  
6 Heather noted, our third and final session in the  
7 Microgrids Integrated Energy Policy Report Workshop.

8           I'm delighted to be joined again by Commissioner  
9 Shiroma from the Public Utilities Commission, and by  
10 Neil Millar from the California Independent System  
11 Operators.

12           I do not have new opening remarks for this  
13 section, but if either of you do, I would be delighted  
14 to hear from you. I see a no from Neil and a yes from  
15 Commissioner Shiroma. Commissioner Shiroma, please.

16           CPUC COMMISSIONER SHIROMA: Thank you, Vice  
17 Chair Scott. I never miss an opportunity to say  
18 something. I just wanted to say that the sessions on  
19 Tuesday and this morning were excellent, really good  
20 panel discussion.

21           And then, the CPUC voted out our Track 1  
22 decision on Microgrids this past month, in June, and  
23 we're now working on Track 2. And as we move forward,  
24 we're looking at developing service standards,  
25 addressing cost shifting issues, the development of

1 rates and tariffs. We'll be asking to comments relating  
2 to potential islanding requirements. And then,  
3 opportunities for non-diesel backup for power  
4 alternatives.

5 And these are detailed in the scoping memo that  
6 was issued last Friday. So, stay tuned and all that.  
7 And I look forward to our last two panels of the day.  
8 Thank you.

9 CEC VICE CHAIR SCOTT: Thank you. Okay, so  
10 let's get started then with our first panel of the  
11 afternoon, which is on Increasing Residential  
12 Reliability during Grid Disruptions, PSPS events, and  
13 Responding to Wildfire Events.

14 And that will be Giovanni, Jason, Richard, and  
15 Haresh. So, if you all will please turn on your videos,  
16 my dais mates and I will turn off ours and we'll let you  
17 go from there. Giovanni, please take it away, welcome.

18 MR. DAMATO: Thank you all for joining this  
19 afternoon. I'm going to be moderating this first panel  
20 in the afternoon on Increasing Residential Reliability  
21 During Grid Disruptions, PSPS Events, and Responding to  
22 Wildfire Events.

23 We're going to have three panelists today, each  
24 giving a specific perspective on residential  
25 reliability. Jason Caudle is the City Manager from the

1 City of Lancaster. Richard Schorske, the Executive  
2 Director of the ZNE Alliance. And Haresh Kamath, Senior  
3 Program Manager of the Distributed Energy Resources and  
4 Energy Storage Programs at the Electric Power Research  
5 Institute, or EPRI.

6 And I am Giovanni Damato and I am a Principal  
7 Project Manager at EPRI, with Haresh, as well. And to  
8 begin, I am going to talk a little bit about analysis  
9 and the tools that we use for microgrids, and to  
10 understand the valuation and optimization of this  
11 particular application of residential reliability for  
12 PSPS events, and other grid disruptions, among many  
13 other applications as well.

14 So, we could go to the next slide. I think that  
15 there's a slide for me as well, and it should be next.  
16 But in any case, we can't get that up. I'll talk a  
17 little bit about, like I said, some of the modeling  
18 tools that are available. And, specifically, I, in one  
19 of my positions, also am the project manager for one of  
20 the CEC-funded projects in microgrids, called DER-VET.  
21 And that is a microgrid and DER analysis tool that is --  
22 there we go -- that helps with understanding the  
23 valuation and the optimization of various microgrid and  
24 DER portfolios for applications of those technologies.

25 And, you know, on Tuesday Commissioner Shiroma

1 asked a question and I think Mike Gravely talked about,  
2 and alluded to this tool, and we wanted to kind of  
3 connect the dots a little bit about what's some of the  
4 CEC funding in this area, to help with the various  
5 topics that we're going to talk about in this session on  
6 residential reliability.

7           So, as you can see here what I've tried to lay  
8 out in this slide is kind of the main goal of the DER-  
9 VET tool. And, really, what it is, is this putting  
10 together technical and economic analysis to really get a  
11 robust result, and set of scenarios for decision makers  
12 to make good decisions about, first, sizing microgrids  
13 and a portfolio of DERs. Second, helping with improving  
14 reliability and resilience, and also stacked benefits.

15           So, one of the key features of the DER-VET tool,  
16 and that's kind of in the center of this slide, is a  
17 multi-perspective that we have. And this really enables  
18 users of the tool to not only look at customer value,  
19 such as this application of residential resilience, but  
20 also look at T&D values. So, looking at the utility and  
21 the ratepayer perspective, and putting those two  
22 together in both in terms of economic value, and also  
23 the technical ability to do those. So, all those  
24 stacked services are co-optimized, together, to really  
25 -- with the end result of giving greater reliability,

1 resilience and value to all customers on the grid.

2           So, with that, one other thing I want to mention  
3 is that, you know, this tool is publicly available. And  
4 you can see the website there on this slide. It's in  
5 beta testing right now and we're open to any and all  
6 opportunities to get feedback from stakeholders of all  
7 types that are interested in DERs and microgrids, as  
8 well. And you can go to the website there and take a  
9 look at that to help with understanding these  
10 applications that we're talking about throughout these  
11 panel sessions.

12           And also, to mention, we're targeting at the end  
13 of this year, in 2020, to have the full release. So,  
14 we're really excited about this tool and we're hoping  
15 that it helps with many of the questions, in terms of  
16 analysis, for all the topics that we've talked about  
17 here.

18           So, with that, I will introduce our first  
19 panelist, Jason. We want to move to that slide. Thank  
20 you.

21           MR. CAUDLE: Great. Good afternoon, thank you  
22 guys for having me. I'm Jason Caudle. I'm the City  
23 Manager for the City of Lancaster. I'm also the  
24 Executive Director for CalChoice. And the presentation  
25 I'm going today, and I'll be honest, is completely

1 biased. It's completely biased to local government.  
2 I've been a local government guy for 25 years and I  
3 generally believe that local government has a huge role  
4 in many things, including energy.

5           So, I hope today, with the goal of kind of  
6 instilling in the group and the listeners that local  
7 government plays a key component of the solution for  
8 DERs and the challenges we face in the energy markets.

9           And it's not just local governments with CCAs.  
10 I think these tools are available to every local  
11 government that has legislative authority. We happen to  
12 have a CCA which gives us greater authority and a little  
13 more activity, and Richard will talk about the details  
14 of what we're doing in Lancaster. But I wanted to share  
15 just the tools that are available to local government  
16 that help you guys, decision makers at the state level,  
17 implement the goals you're trying to implement.

18           I think it's key to understand that local  
19 government controls many things. We manage  
20 transportation systems, we operate sewer systems, water  
21 systems, lighting systems, so when you look at the big  
22 picture of the energy market local government is a large  
23 consumer of energy. Yet, oftentimes, we're excluded  
24 from the process. We're not thought of in the solution  
25 aspects of it.

1           But if you look at those operating systems we  
2 operate, we have great control over those and, again, a  
3 great influence over them to make them either, you know,  
4 converting transportation to electric systems, or energy  
5 efficiency in our water systems or, you know, changing  
6 of our usage in our sewer plants, and energy usage, and  
7 consumption to impact the energy markets. So, these  
8 tools are available to us.

9           We also have local government laws, ordinances  
10 that give us the authority to implement rules and  
11 regulations on our local citizens that not all of that  
12 ability to do. Local government does. And we set that  
13 example in Lancaster by being the first city to actually  
14 require net zero homes construction prior to the state  
15 requiring it. That's just a small example of what local  
16 government can do with local laws.

17           We control development standards. So, we talk  
18 about the electrification of residential neighborhoods  
19 and the installation of DERs in residential  
20 neighborhoods, as well as resilience for neighborhoods,  
21 we can legislate that. Local government has the  
22 authority to pass ordinances to require that.

23           We also, in conjunction with that, and this is  
24 where it comes to from a regulatory perspective, we also  
25 have the authority to place special taxes on those. So,

1 we have the funding mechanism as well to impact outcomes  
2 from a DER perspective and resilience perspective.

3 And as everybody else, we have access to cheap  
4 capital. Local government has access to cheap capital  
5 as it relates to tax-exempt financing.

6 So, when you put all these tools together, we  
7 have a true opportunity to help impact and solve the  
8 problem.

9 Now, Richard's going to talk a little bit about  
10 what we are doing in Lancaster, with the graciousness of  
11 the CEC and some money from the state that we hope to  
12 set an example that we can implement throughout the  
13 state, as local governments.

14 But I want to leave with this idea of  
15 financially what it means to local government as well.  
16 And I'll use Lancaster as an example. So, from a local  
17 government property tax perspective, Lancaster receives  
18 1 percent of the total property tax -- or, the property  
19 tax is 1 percent of the total value. Of that 1 percent,  
20 Lancaster receives 6 percent of the 1 percent of  
21 property tax.

22 That, with an average house price in Lancaster's  
23 about \$310,000, that equates to \$186 a year in property  
24 tax. Our average electric bill, residential electric  
25 bill in Lancaster is \$140 a month. That's about \$1,750

1 a month. So, you can picture the revenue, the costs  
2 that our taxpayers pay in energy is ten times the  
3 revenue that they pay in local property tax to their  
4 local government.

5 So, not only do we have these tools available to  
6 us as local government, there is potential incentive for  
7 local government to get involved in this business,  
8 right, to get involved in this game.

9 So, I leave you with that, not only as it  
10 relates to the powers that we have as local government,  
11 but also the ability we have to finance and the  
12 financial values that present to local government to  
13 implement this.

14 So, with that, I'll turn it over to the  
15 moderator and be happy to answer any questions as we  
16 progress.

17 MR. DAMATO: Thank you. And next up we have  
18 Richard. Take it away, Richard.

19 MR. SCHORSKE: Thank you very much. Can we get  
20 a sound check? We're good?

21 MR. DAMATO: Yes, we can see you and hear you.

22 MR. SCHORSKE: Great, thank you. So, thank you,  
23 Commissioners for this opportunity and thanks, Jason,  
24 for that great intro.

25 So, this is a project that's actually now in its

1 third or fourth year. It's the implementation phase of  
2 an advanced energy community project which is focused on  
3 community microgrids and a virtual power plant design.

4 So, just a quick shout out to our other partners  
5 in this project. Olivine is the VPP and DERMs provider.  
6 Energy Solutions and Blue Strike Environmental are  
7 advising on the microgrid. GridScape is providing the  
8 controller.

9 And we'll go to the next slide. And, of course,  
10 Lancaster City is actually the host of the two  
11 residential microgrids I'll be talking about today, as  
12 well as there are three additional school-based  
13 microgrids that are all together, in conjunction working  
14 through the VPP to provide a lot of load management  
15 flexibility and, we hope, procurement savings for the  
16 LSE, which is Lancaster Choice.

17 So, the overall project outcomes here are to  
18 develop these two ZNE residential communities. One is a  
19 multi-family and one is a single-family design to  
20 improve community resilience, optimize the value of the  
21 DERs and, of course, scale these AEC solutions around  
22 the state.

23 The next slide. And there are two ZNE  
24 residential projects in play here. One is a 78-unit  
25 single-family and one is a 167-unit affordable, multi-

1 family property. And that one, the first, Avenue I, the  
2 single-family is just a more conventional microgrid  
3 arrangement being proposed. The second has some  
4 innovative flywheel kinetic energy storage that we hope  
5 to demonstrate in that context.

6 And then, all of these are going to be  
7 implemented in the contest of potentially a new  
8 residential rate design that helps to capture some of  
9 the DER value streams that we're developing through this  
10 project.

11 The next slide. So, the VPP is an overlay  
12 across all of the microgrids, as I mentioned, and it  
13 includes not only the solar and storage assets, but also  
14 we hope to bring in about 5 megawatts of flexible load.

15 We have another project involving the Antelope  
16 Valley Transportation Authority and there's a lot of  
17 flexible load in those bus charging, potentially, and  
18 also in other kinds of EV charging that will be coming  
19 in the coming years.

20 The next slide. So, we are encountering, you  
21 know, some challenges and some options for how to  
22 proceed. The original microgrid design is a master-  
23 metered configuration. So, essentially, what we had  
24 looked to is to emulate what is being done for mobile  
25 home parks which is that there is a master meter, and

1 then the distribution infrastructure, and the billing  
2 occurs behind that meter. And the local entity, be it  
3 an HOA, in this case potentially the city, owns that  
4 last mile of distribution infrastructure, including the  
5 metering.

6 So, to do this from scratch in this approach is  
7 novel and we may or may not be able to get all the way  
8 through the regulatory process and potential concerns of  
9 Southern California Edison, our partner.

10 So, we are looking to, one, as a policy  
11 recommendation we would love to get increased clarity  
12 from the Track 2 and Track 1 proceedings with regard to  
13 master-metered microgrid configurations. That would be  
14 super, super helpful because this is at present a gray  
15 zone.

16 Second of all, we are preparing kind of a fall  
17 back approach, which is what we're calling the network  
18 of distributed nanogrids. And this is a very exciting  
19 approach which basically enables the houses and/or  
20 apartment buildings to island, auto-island in the event  
21 of a grid outage, and to have a number of resources  
22 available behind the meter.

23 So, the auto-islanding would be executed by a  
24 new technology called a Microgrid in a Meter that  
25 includes an actual auto-islanding mechanism, a physical

1 mechanism that takes the premise off grid. And behind  
2 that, a variable frequency inverter that provides some  
3 significant energy savings.

4           The second innovative piece is a V2G  
5 integration. There's a new product company called  
6 Ossiaco that is coming into the market that has a  
7 CHAdEMO Fast Charger for home use, and it's fully  
8 certified for V2G with Mitsubishi and Nissan. Very  
9 excited about that. It opens up that mobile storage for  
10 resilience purposes and that's a relatively good price  
11 point.

12           And finally, a solar allocator device company  
13 called Powertree has another mechanism for eliminating  
14 back feed and the necessity for utility interconnect on  
15 solar or the multi-family market.

16           So, we're excited about all those options and we  
17 look forward to a discussion about how we're proceeding  
18 on this. Thank you very much.

19           MR. DAMATO: Thank you, Richard.

20           Now up we have Haresh. Are you ready?

21           MR. KAMATH: Thanks Giovanni. Yeah, I'm Haresh  
22 Kamath with the Electric Power Research Institute. And  
23 thanks for this opportunity to talk about some of the  
24 things that we're seeing in this area.

25           And, you know, following up on Jason and

1 Richard's commentary on how to apply these systems, I  
2 just want to talk a little bit about some of the  
3 technology and grid technology issues that go into it,  
4 without going into a lot of detail.

5           One of the things that has happened in the last  
6 decade as we've seen more and more integration of solar,  
7 especially behind the meter, is that people are  
8 surprised when they have outages and they can't use  
9 their solar to actually power their homes. This is  
10 something that's very common to find that out. And they  
11 say, well, I just went off grid by putting solar on my  
12 roof. But in fact, that's not actually the case.

13           To actually go off grid, you have to have a  
14 energy storage and you have to have a home inverter.  
15 This is a term that you're going to hear more about in  
16 the near future. And I'm going to talk a little bit  
17 about what that means. I'm going to talk a little bit  
18 about what technology we're seeing here in this area.

19           The next slide, please. So, if we do want just  
20 to talk about energy storage, residential energy storage  
21 and a little bit behind residential solar in terms of  
22 deployment. We're probably seven or eight years behind  
23 solar when we're looking at energy storage on this  
24 point. But there are starting to be significant numbers  
25 of storage that are deployed all around the world.

1           In fact, many other parts of the world, just as  
2 in solar, have seen a lot more adoption than here in the  
3 U.S. And globally, we have about 5 gigawatts of energy  
4 storage that's gone in. So, you can see that this is no  
5 longer an infant industry, but it's still quite young  
6 and there's still a lot of progress to be made.

7           Next slide, please. So, what we're going to see  
8 as we start to install energy storage, most of the  
9 energy storage that's going out there is going for  
10 resilience. The reason that people are putting it there  
11 is because they want to have backup. And most of these  
12 energy storage solutions are relatively small, you can't  
13 back up everything.

14           The easy way to back things up in the early part  
15 of resilient solutions is just to do partial home  
16 backup, just to power certain critical loads when you go  
17 offline. But eventually, we want to get to the point  
18 where we have a whole home backup solution. And so that  
19 even if the home trips offline, that is if there's a  
20 grid outage then you are able to service all the loads,  
21 as long as you're careful. If you try to run everything  
22 at once, your air conditioner, and your refrigerator,  
23 and your washing machine or whatever else you have, then  
24 it might be a little bit more difficult for you to get  
25 everything running.

1           So, in the long run you want to have active  
2 whole home backup, so an active load management. And  
3 when you have active load management then you're able to  
4 basically control your load so that it never actually  
5 overloads your system. To do that, you have to have a  
6 pretty sophisticated control behind the meter.

7           So, this is something that the industry is  
8 really quite focused on.

9           The next slide, please. Looking at the actual  
10 implementation of these systems, the current design can  
11 be pretty complicated, especially if it's a retrofit of  
12 an existing home. When we install these systems, we  
13 have to put in a whole bunch of extra material, and  
14 panels, and hardware, and there's a lot of work that  
15 goes into it. So, one of these installations can get  
16 quite expensive. It can be upwards of -- I think the  
17 average cost is about 10 to 15 thousand dollars right  
18 now for a 5 kilowatt system.

19           So, now, that's a significant price if a  
20 homeowner is just trying to add this to their system.  
21 But it's not that significant if it's put in when the  
22 home is being constructed in the first place.  
23 Especially in California, they're used to fairly high  
24 home prices. So, if you're adding another 15K on top of  
25 that is quite possible. And many homebuilders are very

1 interested in this possibility.

2 So, what we're seeing is one standardized design  
3 for retrofits where you're seeing, you know, reduction  
4 in the installation size, as well as seeing homebuilders  
5 actually find standard ways of installing this. And  
6 that will increase customer control and, ultimately,  
7 grid designs.

8 The next slide, please. So, finally, you know,  
9 building on what Jason and Richard was saying, I think  
10 one of the things that we want to really look at is  
11 community level designs, rather than individual homes.  
12 Not all homes are going to have the ability to put local  
13 storage on them. For example, if you have multi-family  
14 homes, multi-level residences, then you might want to  
15 talk about other approaches to this.

16 So, really, we're also working at ways in which  
17 we can combine resources across numerous homes and put  
18 that together with the grid to actually create designs  
19 at the community level. This is a very active area of  
20 research and this is something that we are talking with  
21 DOE about and, hopefully, also the CEC.

22 So that concludes my comments. Thank you very  
23 much.

24 MR. DAMATO: Thank you, Haresh.

25 I think we'll turn it back over to the CEC.

1           CEC VICE CHAIR SCOTT: All right, well, thank  
2 you very much. This was a very interesting set of  
3 information. If I could have my fellow dais mates  
4 please turn back on their videos, and also the  
5 presenters to please turn on their videos so that we can  
6 have a little bit of a question and answer together,  
7 with one another.

8           I always have my whole list of questions. But  
9 let me start and see if any of my fellow dais mates have  
10 questions for you. And seeing a no from Neil and a yes  
11 from Commissioner Shiroma. Please, Commissioner  
12 Shiroma.

13           CPUC COMMISSIONER SHIROMA: Thanks. Yeah, this  
14 is not a question, but just to say thanks, Giovanni, for  
15 the information on the DER-VET application tool. And  
16 we'll be sure to check out the website. Thank you.

17           MR. DAMATO: Okay, thank you.

18           CEC VICE CHAIR SCOTT: Great. And I should also  
19 note that Commissioner Douglas has joined us and she  
20 said she will text me any questions that she has for you  
21 all. So, I may read a couple questions from her as  
22 well.

23           One of the questions that I have for you, maybe  
24 for Haresh, but for all of the speakers is you mentioned  
25 how complicated these systems can be, and also how

1 expensive these systems can be. And one of the things  
2 that I'm thinking about is if we're headed to a 100  
3 percent clean energy standard in the 2040s, we have  
4 tough goals that we're also trying to meet in the 2030s.  
5 Which is, you know, just eight or nine years from now,  
6 not very far at all.

7           How do we take some of the complication and cost  
8 out of these systems so that we can deploy them at the  
9 speed that I think we're going to need to go in order to  
10 hit 2030 goals and definitely to hit 2040 goals?

11           MR. KAMATH: That's a great question,  
12 Commissioner Scott -- Vice Chair Scott. So that's, I  
13 think, an active area of research for a lot of folks.  
14 And especially for the California Energy Commission,  
15 which I understand is actually putting -- through their  
16 renewables group, they're putting together a list of  
17 approved hardware for solar, and storage and, you know,  
18 other components of these inverters and so on.

19           That kind of an approach is actually really  
20 useful because that means that especially, you know, of  
21 course retrofit installations, but even homebuilders can  
22 choose from that list, and those lists, and make sure  
23 that they all work together, and relatively simply put  
24 these things together and actually make them run.

25           So, hopefully, with an increased amounts of

1 standardization as we get more experience out there, and  
2 what we're observing already with the CEC and other  
3 entities putting a need on standardizing equipment,  
4 hopefully what we'll see is that the cost will fall, you  
5 know, with experience.

6 I do think that there's a lot of work that's  
7 still happening in terms of research on the component  
8 level manufacturing. And, you know, what we're seeing  
9 of course is just through buy in, you know, the price is  
10 falling.

11 I think in California, the leadership in this  
12 area is making a significant impact and the lessons  
13 learned here in California have been communicated back  
14 to manufacturers, and as they become aligned with  
15 lessons learned from other places in the world. We're  
16 seeing tremendous information coming out of Australia,  
17 Germany, and other places that will hopefully help to  
18 bring the cost down.

19 CEC VICE CHAIR SCOTT: Thank you, that's great.  
20 Did any of the other panelists want to weigh in on that?  
21 Richard, we can't hear you.

22 MR. SCHORSKE: Hi. Can you hear me now?

23 CEC VICE CHAIR SCOTT: Yes.

24 MR. SCHORSKE: That's great.

25 CEC VICE CHAIR SCOTT: And then I see, also,

1 that I have a question from Commissioner Shiroma and  
2 from Neil. I'll get to you in just a moment.

3 Please go ahead, Richard.

4 MR. SCHORSKE: Well, yeah, I'd second Haresh's  
5 emphasize on standardization for sure. I just wanted to  
6 add two other points. One is that a performance  
7 standard for utilities on interconnection that requires  
8 a decision within a very short time frame would be  
9 enormously helpful. I think to put some pressure on  
10 utilities around a 30-day window, or something like  
11 that, aspirationally perhaps at this point, but there's  
12 no reason we should have many months of custom  
13 engineering behind analysis behind every microgrid once  
14 we get, you know, the processes in place.

15 And another item is I really want to commend the  
16 Commission, the CPUC for the suggestion around auto-  
17 islanding as a requirement for 10 kW stationary storage  
18 installations that opt for residential, and integrating  
19 that. And I think we're coming to a world really  
20 quickly where solar and storage are always going to be  
21 deployed in tandem. But even when they're not, having  
22 self-consumption of solar be standard through an auto-  
23 islanding requirement for solar, as well as for storage,  
24 I think is within reach technically, and economically,  
25 and would give us a lot of resilience benefit. Even in

1 the absence of storage, just to have solar self-  
2 consumption in the event of an outage would be a big  
3 boon from where we are now.

4 CEC VICE CHAIR SCOTT: Great, thank you. And  
5 then, I think Neil was next, and then Commissioner  
6 Shiroma.

7 CAISO VICE PRESIDENT MILLAR: Hello. Thank you.  
8 Actually, I think my question would be more for Hareesh,  
9 but if someone else wants to jump in that's fine.

10 It just looks like with the economies of scale,  
11 even with the prices falling, there will always be an  
12 advantage for some economy of scale of having the  
13 resiliency provided at some sort of community or  
14 neighborhood level as opposed to residence by residence,  
15 which I have to admit seems more like a luxury item as  
16 opposed to something that can be -- that people can  
17 afford on average.

18 So, would you see more effort being going into  
19 managing these community-based efforts or do you see the  
20 residence by residence being the logical approach?

21 MR. KAMATH: We see -- well, obviously, there's  
22 room for both. And what we would like to see in the  
23 future is some coordination such that residential  
24 systems and the systems that are installed even on  
25 commercial and industrial locations can be used together

1 with community resources. And when we talk about  
2 community resources, you know, we're talking about  
3 installations on the front of the meter that are, you  
4 know, managed in some way. You know, some sort of a  
5 local control.

6           There's a lot of technical challenges that have  
7 to be addressed before we can get to that point. But,  
8 you know, that's -- so, those things are relatively  
9 straight forward.

10           One of the things that I should point is that,  
11 you know, from a regulatory stand point there are  
12 incentives in place for behind-the-meter installations  
13 that, you know, community assets don't have. So, that's  
14 one of the things that we've observed is, you know, it  
15 favors the residential and the CNI investment at the  
16 grid level.

17           CAISO VICE PRESIDENT MILLAR: Okay, thanks.

18           CEC VICE CHAIR SCOTT: Great. We'll turn to  
19 Commissioner Shiroma, please.

20           CPUC COMMISSIONER SHIROMA: All right, thank  
21 you. A comment, then a question. So, prior to coming  
22 to the CPUC I was an elected director at the Sacramento  
23 Municipal Utility District, SMUD, for 20 years. And  
24 during that time I think the peak energy usage was in  
25 the summer of 2006, and we had just built a 500-megawatt

1 natural gas-fired power plant and had started it up.  
2 And if we had not had that power plant, we would not  
3 have been able to cost effectively take care of the  
4 peak. We would have had to purchase extremely expensive  
5 electricity, and so forth, and so on.

6           Anyway, it started a dialogue at that time of  
7 what was forecasted ahead. And our staff came to us and  
8 said that there are about 40 hours a year during the  
9 summertime when it's really expensive and we can't be  
10 building another 400-megawatt power plant to cover that  
11 short period of time. What do we do?

12           Well, we ended up investing substantially in  
13 energy efficiency, and so forth and so on. Okay.

14           So, my question to whoever wants to answer this  
15 is has anyone looked ahead at the growth expected homes  
16 and commercial in the next 5, 10, 20 years and whether  
17 it's more cost effective to invest in, say, a microgrid  
18 option versus more conventional sources of electricity?  
19 This might be a question for academia, or for EPRI. But  
20 say for the City of Lancaster, are you looking ahead to  
21 the viability of your community? Has anyone done this  
22 kind of analysis?

23           MR. CAUDLE: Yeah, and I think it's obviously a  
24 factor of the cost of energy and your electric bill with  
25 the utility, and the cost of technology. And I think

1 eventually those are converging, right, to be cost  
2 effective. So, the cost of energy is going up, as we  
3 all know, and the cost to deliver that energy is going  
4 up, and the cost in technology's going down. Eventually  
5 they're going to meet, right, where that technology from  
6 a price perspective is going to be equal to connecting  
7 to the grid.

8           And I think that's what we're working on with  
9 Richard's group is saying is there a way, from a  
10 community basis, from a community scale to be resilient,  
11 but also be cost effective? Is it possible to behind  
12 this meter as a group, a society of homes, in this case  
13 we've got 164 and 78 homes, on that micro scale. Is it  
14 possible to do that and be cost effective, and more  
15 affordable than the incumbent utility?

16           So, we hope to prove that. And I think that's  
17 what we're looking at. And I think that's some of the  
18 questions that are going to be answered through our  
19 projects are is this viable today or, as you look at  
20 technology decreasing and costs increasing is it going  
21 to be viable two years from now? Is it going to be  
22 viable before 2030 where, you know, we may not have that  
23 problem.

24           And that's really, hopefully, what we're trying  
25 to design? I think are we early today? I think we're a

1 little early. But is it around the corner? It is  
2 absolutely around the corner where it will be more cost  
3 effective to be off grid or islanded, than be connected  
4 to your incumbent utility.

5 MR. SCHORSKE: If I could --

6 MR. DAMATO: I'd like to also --

7 MR. SCHORSKE: Go ahead, Giovanni.

8 MR. DAMATO: I was just going to jump in and  
9 say, you know, with the microgrid analysis piece they  
10 started off with -- a key premise for the cost benefit  
11 analysis that we do is looking at the conventional  
12 alternative and comparing it to the microgrid solution  
13 or portfolio of DER. So, that's really the basis, I  
14 think, of your question there, Commissioner. And that  
15 is the approach and the framework that we take when  
16 we're looking at answering the question of which  
17 solution is more cost effective.

18 MR. SCHORSKE: And in terms of just the overall  
19 system, I would suggest that looking at the flexible  
20 load management and DR program expansion into the  
21 residential segment, and just making that a more user-  
22 friendly offering for customers, both CNI and  
23 residential is a big piece.

24 So, for example, right now we could do a  
25 residential thermostat program for maybe \$150 a year,

1 where a resident will allow, you know, the Nest, or the  
2 LSE, or whoever it is that's operating that program to  
3 shave a couple of degrees off their AC in peak times in  
4 return for a free smart thermostat, or a couple of  
5 hundred dollars a year, or both. And that's a very,  
6 very cost efficient approach to peak load management  
7 versus either microgrids or centralized generation where  
8 it's -- you know, where it's proven to be effective.  
9 But there's huge leverage and head room in the DR  
10 programs that are available to folks. And we're working  
11 with that, as well.

12 MR. KAMATH: If I could briefly comment. One  
13 thing I will say is that, you know, what we've found is  
14 that scale solutions are almost always lower costs, at  
15 least in principle, than redistributing solutions.  
16 Distributing solutions can be effective, however. And a  
17 lot, you know, a great deal depends on what customers  
18 want and what customers are looking for.

19 We think that some combination of centralized  
20 generation and distributed generation makes a lot of  
21 sense in the future. And certainly, I think in the  
22 future integrated resource planning needs to incorporate  
23 aspects of both as we -- you know, as we see what the  
24 best way to make our energy investments are in the  
25 future.

1 CPUC COMMISSIONER SHIROMA: Thank you.

2 CEC VICE CHAIR SCOTT: Thank you. Do I have  
3 other questions from my fellow dais mates?

4 Okay, I see that we have just a few minutes left  
5 so, maybe, Giovanni, I'll turn to you. Is there a  
6 burning question you have for your panel that didn't get  
7 asked or answered?

8 MR. DAMATO: Well, we might have one, you know.  
9 I have one set off for Jason. And this is kind of a  
10 question where you have some flexibility here to answer.  
11 And that's, you know, you mention that as a CCA, you  
12 know, a unique position to address solutions for PSPS.  
13 And I'm curious, you know, if you had more time from  
14 your presentation what would you like to kind of dive  
15 into more on what unique aspects you have in more  
16 detail?

17 MR. CAUDLE: Right. Well, and I think it comes  
18 down to the conversation we had about resilience and the  
19 project that actually we're working on in Lancaster, is  
20 this idea where you have these islanded neighborhoods  
21 that are -- and I wouldn't say that's unique to CCAs,  
22 specifically, but it's unique to LSEs is their ability  
23 to behind-the-meter manage these assets separately, as a  
24 community.

25 And, you know, those authorities we have are

1 taxing, right, and legislative. So, we have the ability  
2 in neighborhoods, as cities, to go in and mandate the  
3 resilience component associated with the development  
4 standard. And then, we have the ability to assess a  
5 special tax associated with that. Those are two things  
6 that the utility can't do, that nobody can do -- well,  
7 the state can. But on an individual level that only  
8 local government can do.

9           So, when we look at these neighborhood-based  
10 systems, if controlled locally there are greater  
11 opportunities for resilience through the PSPS.

12           There are also, as we look at that financial  
13 leveraging, if there's a way to leverage that revenue  
14 that would traditionally be going to the utilities,  
15 right, is now going to the system, right, the system of  
16 resilience, whether it be flywheel, battery, solar,  
17 storage, and the infrastructure as part of the  
18 development, you then start seeing a financial metric  
19 that might really work to the future. So that any new  
20 development is designed this way.

21           And I guess it's maybe it's the Hippocratic oath  
22 is -- well, I don't know if this is the Hippocratic oath  
23 or whatever it is, but do no harm. Right, we've  
24 obviously got a problem now. How do we stop doing --  
25 how do we stop creating what we've created? Is being

1 honest and saying is there a better way to do it now for  
2 the future, and that's what we're trying to get to.

3 MR. DAMATO: Great, thank you.

4 And this one's for Richard. Yeah, you briefly  
5 touched on the master meter concept and I'm curious, you  
6 know, what are your -- if you could future cast or  
7 predict, what do you think are some of the high level  
8 impacts? If your project is able to implement that, how  
9 will that affect projects as we go forward in  
10 California?

11 MR. SCHORSKE: You know, I think there's a lot  
12 of concern everywhere in the state about the PSPS  
13 events, and the wildfires, and the added scenarios and  
14 just the overall stress of the grid on a warming  
15 environment. And I think, you know, PG&E has said  
16 publicly that this is going to be a problem for ten  
17 years. And I assume it's going to become an increasing  
18 problem in the southland.

19 And so, to be able to say to a homeowner we've  
20 got you covered, we've got your whole neighborhood  
21 covered, and of course at the city level to be able to  
22 say, you know, we're building toward a very resilient  
23 and sustainable city, I think those are really great  
24 selling points for both, you know, developers and for  
25 city leaders who are competing for the business.

1           And so, I would say being able to codify and  
2 streamline what it means to have a master-metered  
3 development, and have that be a more standardized  
4 offering for any load-serving entity, any CCA, any city,  
5 any developer, you know a variety of entities can get  
6 into this game. But having those rules clarified and  
7 streamlined for everybody would be super helpful.

8           MR. DAMATO: Great, thanks Richard.

9           And Haresh, this kinds of builds on that. You  
10 know, your last slide talked about community level  
11 resilience. Are there any key barriers you want to talk  
12 about, you know, on the technology side to build on what  
13 Richard just talked about?

14          MR. KAMATH: Yeah, and I think, you know, just  
15 from a technology perspective we still have to do some  
16 of the work in terms of developing effective controllers  
17 to be able to orchestrate, you know, a large number of  
18 inverters to actually work together to produce  
19 resilience at a community level. But, you know, that's  
20 a matter of engineering.

21          There's also the question of simple adoption.  
22 Right now we have a larger number of solar inverters  
23 than we did before. Solar inverters are not grid  
24 forming; they are grid following. There are some terms  
25 that we're going to become very familiar with in the

1 next few years, just as we've become familiar with the  
2 term smart inverter in the last ten years. And  
3 increasingly what we're going to be asked -- you know,  
4 what's going to be asked to happen is that we switch  
5 over to grid forming inverters, backed up with energy  
6 storage, along with your solar, to actually be able to  
7 provide end solutions. Not only at the home level, but  
8 in the community level.

9 MR. DAMATO: Thank you. I think we'll move to  
10 Mike Gravely.

11 CEC VICE CHAIR SCOTT: Yep, that's what I was  
12 about to say as well. We want to be interactive and we  
13 have some questions that have come in from the folks who  
14 are listening in.

15 Let us turn to Mike and he'll ask those  
16 questions to us.

17 MR. GRAVELY: Okay, so we have two questions  
18 that are pretty high on the vote. So, I'll give you the  
19 first one. And we've talked about this topic just quite  
20 a bit here. But the ultimate question is what  
21 regulatory innovations would have the greatest impact on  
22 the ability to serve multiple residents for the block  
23 scale, or neighborhood scale generation versus the  
24 individual?

25 So, I guess we've talked about the different

1 opportunities. But the question here was if there were  
2 regulatory interventions that would encourage, I guess,  
3 the bigger scale versus the individual scale what would  
4 you see.

5           And any one of the panel members or all of them  
6 could address it, but I think this is a topic we've  
7 talked a quite a bit about so it's clearly an area. So,  
8 I guess the question here becomes, as we are a  
9 regulatory agency, what innovations could be considered  
10 in the future that might make these consolidated systems  
11 more agreeable with the current regulatory environment?

12           MR. CAUDLE: You know, I guess, let me address  
13 that real quick. I think when we look at the project  
14 we're working on that relates to kind of this mobile  
15 home, you know, behind-the-meter concept is, you know,  
16 we envision that behind-the-meter -- this is the irony  
17 of it, we envision that neighborhood being connected to  
18 the meter because of resilience, right. In case the  
19 solar system, the flywheels, and other things don't  
20 work, we have that resilience.

21           We hope to test that there's very little energy,  
22 if we can design it right, and that's the real puzzle,  
23 is there's very little energy going to be running  
24 through that meter. Only if there's some design flaw or  
25 something happens within the system behind that meter.

1           So, I mean in that setting, if you're able to  
2 create an islanded area, right, a neighborhood that is  
3 financially and technologically independent, you may not  
4 even need that meter so there isn't any regulatory  
5 challenges.

6           I think the regulatory challenge comes when you  
7 try to connect to that grid and how that functions. And  
8 I think that's what Richard's message has been is that  
9 there -- if we could solve for that problem, you know,  
10 cities have the opportunity to manage all the  
11 infrastructure beyond that meter for that neighborhood,  
12 no different than we manage their sewer, water, cable,  
13 streetlights, everything else that's associated with  
14 that neighborhood, there's no reason we can't manage  
15 that same infrastructure behind that meter.

16           I don't know if Richard wants to add to that.

17           MR. SCHORSKE: No, I think you said it really  
18 well, Jason. And, you know, right now we're in a  
19 situation where going fully off grid, you know, is not  
20 quite as economical as getting those last, whatever, 10  
21 percent of electrons or those peak electrons from the  
22 grid. And we're really pleased that in Lancaster  
23 there's a hundred percent green product, so we can  
24 continue to be zero net emissions, even if we're working  
25 with grid-based electrons. But I think, you know, we're

1 getting close, maybe in the next ten years where these  
2 developments could be fully self-sufficient and off grid  
3 as the prices of both solar and storage continue to  
4 decline.

5           So, I think it's kind of the next ten years is  
6 like can we work out, you know, a modus vivendi with all  
7 the entities to say can we be behind-the-meter with a  
8 master meter configuration, and these community DER  
9 assets. And that's where we're trying to work out a  
10 happy medium right now.

11           MR. GRAVELY: Okay, thank you very much.  
12 There's just time for one more question and it has  
13 several thumbs up, so I'll just address it. So,  
14 obviously, California's leading the nation right now  
15 with the number of electric vehicles and there's a large  
16 number expected in the next five years, and certainly  
17 more than that later.

18           So, the question is just the aggregation of  
19 these electric vehicles obviously is much larger than  
20 any battery system we have right now installed. So,  
21 what planning or what regulations would help us try to  
22 leverage these assets? Obviously, a lot of them will be  
23 residential assets, not at all at fleets. So, I guess  
24 just from your perspective of as we get more and more  
25 electric vehicles in California, how do we turn them

1 into a grid asset as opposed to just a grid load?

2 MR. SCHORSKE: I'll just throw in a couple of  
3 things. I think having bidirectional chargers become  
4 more of a standard in workplaces, and elsewhere is  
5 great. And we're starting to see, you know, this  
6 product from this company, Ossiaco, that I mentioned,  
7 for 5 grand to have a bidirectional fast charger is a  
8 major breakthrough in price and would enable -- you  
9 know, as those prices become routine, I think that  
10 enables bi-directionality with a high rate with energy  
11 transfer. Like this one is, I believe, 40 kW. So, with  
12 40 kW of continuous, you know, energy both ways you can  
13 really do a lot for the grid and you can also -- there's  
14 a number of technical innovations to avoid battery  
15 degradation in that context that are important, and will  
16 really help the whole VGI ecosystem to develop further.

17 MR. KAMATH: I'll just really quickly point out  
18 that, you know, there are some technical challenges with  
19 respect to, you know, after coordinating all of these  
20 assets, especially customer assets. It's always the  
21 question as to whether or not the customer really wants  
22 to use their asset this way, but presumably they do.

23 You know, there are some challenges in just  
24 orchestrating this, making sure that you can handle this  
25 but without compromising the need for people to actually

1 use their electric vehicle for their primary purpose,  
2 which is for getting from one place to another.

3 All of that said, you know, I think one of the  
4 major challenges is agency. You know, you've got  
5 several different organizations or groups of people.  
6 You know, you have the vehicle owners, you have the  
7 vehicle manufacturers, you have the grid, you have, you  
8 know, all of the stakeholders in this and they all have  
9 to agree that this is a good idea. And they just hook  
10 it up and despite, as has been already pointed out, a  
11 slightly higher cost of having vehicles that are set up  
12 to this and having them operate on the grid.

13 MR. GRAVELY: Okay, thank you very much. I  
14 think I'll turn it over to Vice Chair Scott, so we can  
15 prepare for the next panel.

16 CEC VICE CHAIR SCOTT: All right, that sounds  
17 great. Thank you so much, Mike, for reading some of the  
18 questions from our participants. So, thank you so much  
19 Giovanni, Jason, Richard and Haresh. I really  
20 appreciate you taking the time to lend your expertise to  
21 us today and bring us this really great information.

22 So, Panel 1 may turn off their cameras if they  
23 like. Also, my dais mates as well. And we will turn it  
24 over to Heather to get us kicked off for Panel 2.

25 MS. RAITT: Okay, thanks Vice Chair. And

1 actually, just as I may, a moment before we go to our  
2 next panel, ask folks to let us know if they play on  
3 making comments during the public comment period. Just  
4 go ahead and press that raise hand icon if you're on  
5 Zoom, and press star 9 if you're on the phone. And that  
6 just helps us plan for the afternoon.

7           And with that, we can move on to our next panel  
8 on Emerging Technologies to Extend Islanding. And the  
9 moderator is Elisa Wood. Go ahead, Elisa. Thank you.

10           MS. WOOD: I seem to be having some kind of  
11 problem here with our sound. Can you hear me?

12           MS. RAITT: Yeah, we can hear you, but there is  
13 a bit of an echo.

14           MS. WOOD: How's that? Can you hear me? We're  
15 having a bit of a technical problem here. I don't seem  
16 to be getting through. Still no sound?

17           MR. BROUWER: No, we can hear you Elisa, we can  
18 hear you.

19           MS. WOOD: Okay. Okay, wonderful. Good. So,  
20 welcome. I'm Elisa Wood. I'm the Editor-in-Chief of  
21 Microgrid Knowledge.

22           We can go ahead and put up the first slide  
23 there. We are a website devoted to all things  
24 microgrid. We've got about 3,500 free articles on our  
25 site. And we've got the largest white paper library in

1 the world on microgrids as we speak. So, come visit us.  
2 You might learn some more about microgrids.

3 We also had a conference last month, a virtual  
4 conference, which drew about 2,100 people from around  
5 the world, as well as, you know, the dogs, and cats, and  
6 kids who also kind of jumped in there occasionally. But  
7 it reflected just how much interest there is in  
8 microgrids now. Very exciting for us.

9 You know, what's really fascinating is in the  
10 five months that we've been up and running we've noticed  
11 that California really is an epicenter of microgrid  
12 innovation, policy, growth. It's just fascinating to  
13 see what the CEC, and the CPUC are doing. We really  
14 appreciate it. And I feel incredibly honored to be  
15 here, to be able to participate in this really rich  
16 workshop that they've been holding this week. So, thank  
17 you everybody who's been involved in this. I've really  
18 enjoyed it tremendously.

19 So, let's get to our wonderful panel that we  
20 have here today. I'm going to introduce our three  
21 speakers. We have Alex Morris, who is from the  
22 California Energy Storage Alliance. We have Jack  
23 Brouwer, who's from the National Fuel Cell Research  
24 Center. There's Jack waving his hand. We have Julia  
25 Levin from the Bioenergy Association of California.

1           So, we will get started, now, with the  
2 presentations and then as we start before the  
3 Commissioners, they'll ask some more of their really  
4 interesting questions. I really enjoy those questions.

5           So, let's get started then with Alex. Are you  
6 set to get going, Alex?

7           MR. MORRIS: Yes. Hello Commissioners, thank  
8 you for having us today. I commend you for having what I  
9 think is a very important --

10          Okay, is the sound quality okay? I think it's  
11 clear now, okay.

12          Great. So, I'm from the California Energy  
13 Storage Alliance. I have provided some slides which I  
14 think could be brought up as well. And in the slides  
15 you'll see a little bit about the California Energy  
16 Storage Alliance and how we represent close to 90  
17 companies doing energy storage development or support in  
18 California. And, naturally, the role of microgrids has  
19 come up quite a bit for energy storage.

20          And I think a key dimension to it is, you know,  
21 how can storage help with not only microgrids, but  
22 address customer impacts for the public safety power  
23 shutoffs that are occurring.

24          And so, we've been doing a fair bit of work on  
25 many fronts on this issue, including through direct

1 proceedings with the Commission, the Energy Commission  
2 and the Public Utilities Commission. It was good to  
3 hear some of the remarks from earlier about how from a  
4 customer's point of view, it would be easier if we had  
5 faster interconnections, more tools in our toolkit,  
6 remote disconnects, and things like that. So, I'll  
7 speak to some of those issues now.

8 I think the larger arc of what I wanted to  
9 express today, and I hope there are questions on it, is  
10 that we have been doing modeling and we know that the  
11 amount of storage we're going to need in California is  
12 vast. You know, somewhere between ten to forty thousand  
13 megawatts of storage. A lot of that storage can be  
14 behind the meter, or it can be in front of the meter.  
15 It can be part of a microgrid or just part of the larger  
16 grid.

17 And so, in light of this massive transformation  
18 we're going to undertake for the grid, I hope we can  
19 think smartly about the roles for storage.

20 And I also wanted to acknowledge that -- two  
21 things from the Energy Commission folks. You guys are  
22 doing a great job of helping strategically target pilot  
23 funding to add to our toolkit, particularly with some of  
24 the long duration work you've been helping fund lately.  
25 I know Mike Gravely can speak a lot to that. But I

1 think it's really smart what you've been doing.

2           And then, also, I think this IEPR workshop is  
3 really great because one of the challenges we've faced,  
4 as Commissioner Shiroma knows, is that the public safety  
5 power shutoffs showed up and they hit us very quickly,  
6 us as Californians. And it was -- we felt -- I think  
7 many of us felt we wanted to do something and we all  
8 rushed to try and do something as quickly as possible.  
9 But a lot of it was, at least initially, ad hoc. And I  
10 think over time, especially with the IEPR we can develop  
11 comprehensive strategies for rolling out microgrids and  
12 addressing PSPS in a way that's principle -- balances  
13 between utility investments or other solutions, and  
14 whatnot.

15           So, that's kind of the arc of my remarks. And  
16 I'll just speak a little bit about how we're seeing  
17 interest from the storage side to pursue and target  
18 microgrid opportunities to help address California's  
19 needs.

20           Just about CESA, you know, quickly we're based  
21 in Berkeley. I haven't seen my office in months, so I'm  
22 posted up here in the Alps. Just kidding. I'm based in  
23 Sacramento and, you know, often work with our key  
24 agencies here, trying to help energy storage be part of  
25 the electric power system here to support for a clean

1 energy future.

2           We represent almost every energy storage company  
3 that's involved in California, as you can see from the  
4 next slide. We have a lot of the big, most serious  
5 companies, and we also have a lot of the emerging  
6 technology companies. And hydrogen companies are part  
7 of the emerging tech group. Some of the hydrogen  
8 efforts, which often focus on long duration storage are  
9 targeting, you know, new -- targeting long duration  
10 storage through big company deployments, but then also  
11 we have the emerging guys developing it.

12           So, let me jump straight to how we enable more  
13 microgrids. I've already mentioned that we know the CEC  
14 in storage can play a role here, and that's great, and  
15 that we're going to have massive storage needs. So, I  
16 think some of the near term actions we can pursue are  
17 continue to get more storage and more long duration in  
18 our toolkits. This can take the form of using electric  
19 vehicles, lithium harvesting in the state, or just  
20 continue the incubation of long duration technologies.  
21 You can see this on the next slide.

22           Some no regrets ideas would be to support a fast  
23 interconnection or fast additions of storage to existing  
24 solar.

25           And then, we also think there's a lot of value

1 in small technology improvements like remote disconnects  
2 that leverage the already existing utility metering  
3 infrastructure. And a good example of this is a small  
4 company called Connect California that uses a remote  
5 disconnect, and then an EV power source for a home.  
6 It's very, you know, clean and simple, and probably  
7 available, you know, really quickly. So, I just throw  
8 that out as an example of where clever experts are  
9 looking at how to very cost effectively add resiliency  
10 benefits. In this case it's through an electric  
11 vehicle, but it also could be from allocated storage.  
12 And it tries to work around some of the cost barriers of  
13 the more heavy-handed utility interconnection or of, you  
14 know, subpaneling and whatnot. So, it's a pretty neat  
15 solution that I think is on the table and I'd like to  
16 see that reflected in some of the thought work in the  
17 IEPR.

18           And then, finally, the strategy for microgrids  
19 could be honed and sharpened in the sense that, you  
20 know, microgrids is a term that's often used broadly.  
21 But, you know, a customer's resiliency needs, an  
22 individual customer may differ a lot from a campus. And  
23 so, we really need a strategy that addresses these  
24 different sizing and density groups. And I think once  
25 you go down that path, you very quickly see where and

1 how we may want to allow private microgrids to be fast  
2 tracked, and then where that may be economically  
3 rational.

4 And so, that's the type of strategic thinking I  
5 hope we see and I hope CESA can credibly support these  
6 discussions. So, thank you. And I'm open to any  
7 questions, Elisa.

8 MS. WOOD: Thanks, that was great. And thank  
9 you for the work that CESA is doing.

10 Next, we'll turn it over to Jack.

11 MR. BROUWER: Thank you very much. I appreciate  
12 your invitation and giving me an opportunity to speak  
13 here and focus my discussion on fuel cell microgrids.

14 The next slide, please. So, fuel cell  
15 microgrids are currently in use in many jurisdictions  
16 around the world. And in particular, in the Northeast  
17 we have fuel cell-supported microgrids in the town of  
18 Woodbury, at the University of Bridgeport, and in a  
19 disadvantaged community in New York, the Marcus Garvey  
20 Village, in Brooklyn.

21 And so, for example in Woodbury, this utility  
22 microgrid is actually serving a high school, a state  
23 facility, a police department, a fire station. It's one  
24 of those community microgrids that we were starting to  
25 talk about in the previous part of the panel discussion.

1           And fuel cells have this opportunity to do that  
2 because they have very high power capabilities to power  
3 a whole community.

4           And this is an example in Connecticut. Also,  
5 the Marcus Garvey Village is a very interesting  
6 microgrid that incorporates solar, and fuel cells, and  
7 battery energy storage, all three of these working  
8 together with the fuel cell providing that grid signal  
9 that was talked about earlier, right. So that when the  
10 grid goes down, the fuel cell serves as the grid signal  
11 and the solar and batteries can stay grid connected and  
12 serve that community during an outage.

13           Also, because the fuel cell can run  
14 continuously, you'll notice in the chart here that more  
15 emissions savings are attributed to the fuel cell  
16 installation than to the solar itself, because of this  
17 continuous operation.

18           The next slide, please. So, how do these fuel  
19 cell microgrids work? They work in both grid-connected  
20 and in islanded mode, with fast switch gear to enable  
21 the fuel cell microgrid to run seamlessly through power  
22 outages.

23           So, for example, on this diagram that you see  
24 here, this is an 800 kilowatt fuel cell that  
25 continuously provides power to an elementary school, to

1 a branch library, to a senior center, and to a charter  
2 care health center. During normal operations it is  
3 providing the majority of the power and it's grid  
4 connected so that power can flow back and forth to this  
5 community.

6           When the grid goes down there are fast switches,  
7 and these are indicated by the orange switches that you  
8 see here, that enable this same fuel cell to then  
9 support an adjacent store and gas station. Essential  
10 services during the time of an outage, like a PSPS  
11 event, or a wildfire, or earthquake, or storm.

12           The next slide, please. And they've proven this  
13 resilient operation in these communities, serving  
14 communications facilities, like telecommunications  
15 facilities, keeping them up and running for long periods  
16 of time during natural disasters. Starting here, with  
17 the fires down in San Diego, a Doosan fuel cell was able  
18 to do that.

19           The winter storms in 2011 and 2012, 23 Doosan  
20 fuel cell systems were able to seamlessly transition  
21 their loads, including some telecom stations, okay, from  
22 operating on the grid-connected mode to continuously  
23 operating through this storm.

24           Also, you can see in the very last couple of  
25 instances here, the Ridgecrest earthquakes, the Napa

1 earthquake in 2014, these fuel cell systems, operating  
2 with natural gas or biogas delivered through that system  
3 were able to run through earthquakes as well.

4           The next slide, please. And these systems are  
5 being built in very large fuel cell systems, up to 59  
6 megawatts in size. So, they can serve very large  
7 communities. And they're being installed in places that  
8 have strict air pollution requirements, and in  
9 disadvantaged communities that are already exposed to  
10 too much pollution.

11           So, these non-combustion resources,  
12 complementing the solar and battery energy storage, are  
13 enabling this sort of a community level support of  
14 microgrids.

15           And let me mention one last thing with regard to  
16 this, and it is that these locations where PG&E is  
17 establishing interconnection points for diesel gensets,  
18 instead they could install these sorts of large scale  
19 fuel cell systems that could provide both primary power  
20 and backup power at those sites.

21           The next slide, please. The last point I want  
22 to make is that when we invest in these fuel cell  
23 microgrids, we are not investing in natural gas. We are  
24 not investing in fossil. What we are investing in is an  
25 electrochemical energy conversion device that today may

1 operate off of fossil. Today it may operate off of  
2 renewable hydrogen. But that all of these systems, like  
3 those that are used at the Stone Edge Microgrid that you  
4 heard about earlier, okay, those currently operate on  
5 renewable hydrogen, and so do all these backup systems  
6 that are serving the telecom sites. But these same  
7 systems that are operating today on natural gas and  
8 biogas can also be operated in the future on the  
9 renewable hydrogen that is required to complement the  
10 sun, wind, and batteries.

11 Thank you for your attention.

12 MS. WOOD: Thanks Jack. Those are fascinating  
13 projects. Appreciate that presentation very much.

14 Next we have up Julia.

15 MS. LEVIN: Thank you. Good afternoon everyone  
16 and thank you for hanging in there.

17 So, I'm going to -- I guess I'm the last  
18 speaker, so I'm going to sort of wrap it up with a  
19 common theme, which is the need for more diversity in  
20 microgrids. In any complex system, diversity equals  
21 reliability and that's particular true in our energy  
22 system.

23 The next slide, please. So, how bioenergy adds  
24 diversity, well bioenergy can add diversity in a number  
25 of different ways. It can provide flexible generation

1 and baseload power. It provides the only carbon  
2 negative fuel for the grid. It can be as much as 500  
3 percent lower carbons than solar or wind. It can  
4 provide long duration energy storage in the form of  
5 biogas or renewable hydrogen from bioenergy. It can  
6 provide liquid or gaseous fuels for backup generators,  
7 and renewable hydrogen for fuel cells.

8           The photo at the bottom actually is a fuel cell  
9 combined with solar at UC San Diego.

10           I want to go back to the backup generators,  
11 though, because this has come up a number of times  
12 today. And I want to agree with several of the earlier  
13 presenters about the need to move away from diesel as  
14 fast as possible. And you can do that with a fuel cell,  
15 as Jack described. You can also do it with a natural  
16 gas backup generator, which is still 90 percent lower  
17 NOx emissions, 99 percent lower particulate, and two to  
18 five hundred percent lower carbon emissions than a  
19 diesel backup generator.

20           So, there's just really no reason in 2020 and  
21 beyond we should be installing more diesel backup  
22 generators.

23           The next slide, please. California produces a  
24 lot of organic waste from agricultural and livestock  
25 waste, urban organic waste, forest waste that has to be

1 removed for wildfire mitigation, as well as biogas from  
2 landfills and wastewater treatment facilities.

3           The next slide, please. All of that organic  
4 waste together could provide about 20 percent of the  
5 state's electricity. Just as importantly, every  
6 community in California produces organic waste. This is  
7 a slide from a recent report by Lawrence Livermore  
8 National Lab. Every community has wastewater treatment,  
9 landfills, food waste, yard waste, all of which is local  
10 energy source, can provide local energy security.

11           The next slide, please. And we already have a  
12 lot of facilities that are doing this around the state.  
13 Wastewater treatment facilities, waste transfer  
14 stations, dairies, landfills. And if you look at some  
15 of these slides, you can also see that this a form of  
16 energy storage. Biogas can be stored. In fact, it's  
17 part of the process. But it's produced and can be  
18 stored in these large tanks. So, this is a way not only  
19 to provide local energy, but local energy storage.

20           The next slide, please. And I want to give two  
21 specific examples because I think we can all agree that  
22 the military provides an essential service, along with  
23 many of the other services. And two of the microgrids  
24 that we already have operating in California are running  
25 in part on bioenergy.

1           So, in San Diego County we have a Marine Corps  
2 Air Station with a 20-megawatt microgrid that includes  
3 3.2 megawatts of bioenergy from a local landfill gas.  
4 And that helps the air station to keep its critical  
5 services running during a power shutoff.

6           The next slide, please. In Monterey County, a  
7 U.S. Army Base, Fort Hunter Liggett, the U.S. Army has  
8 both a zero net waste and a zero net energy goal, mostly  
9 for troop security reasons. So, the Fort Hunter Liggett  
10 Base is converting the waste that is produced onsite, on  
11 the base to both electricity and vehicle fuels. And  
12 this is going to become a model for the military all  
13 over the world, again, for troop protection as much as  
14 for environmental reasons.

15           The next slide, please. So, this is my last  
16 slide and I just wanted to end with a couple of  
17 recommendations that I think are really critical as we  
18 move forward on microgrids.

19           The first is for a longer term microgrid tariff.  
20 We really need a tariff that not only emphasizes a  
21 diverse portfolio, but requires it. And particularly  
22 requires flexible generation and long duration storage.  
23 We will not have long duration microgrids or reliable  
24 microgrids if we don't include flexible generation and  
25 long duration storage.

1           We also need pricing mechanisms that account for  
2 all the additional grid services that fuel cells and  
3 bioenergy can provide, as well as some of the upstream  
4 benefits like reducing carbon upstream, reducing  
5 wildfire risks and things like that.

6           We really need to focus on renewable resources.  
7 As I said earlier, there's just no reason to continue  
8 using diesel at this point and we should be moving away  
9 from it as fast as possible.

10           Finally, there is an interconnection proceeding  
11 going on at the PUC that's been talking a lot about  
12 anti-islanding recently. And I think it's very  
13 important that that proceeding be included with the  
14 microgrid proceeding for measures to protect against an  
15 unintended islands, don't also make it harder to have  
16 intended islands, which are microgrids.

17           So, these two proceedings really need to be  
18 coordinated. Thank you very much.

19           MS. WOOD: Thank you, Julia. That is -- we've  
20 been hearing a lot about bioenergy and RNG, this is also  
21 called, I think, and is acknowledged these days, so  
22 really appreciated that presentation.

23           Now, we are going to turn it back over to the  
24 Commissioners and questions that they may have.

25           CEC VICE CHAIR SCOTT: All right. Well,

1 terrific. Yet another exciting and wonderfully chalk  
2 full of information panel here.

3 As the dais mates please turn your cameras back  
4 on, and also panelists, please keep your cameras on as  
5 well for our conversation.

6 And before we open our conversation up for  
7 questions, I do also want to make the reminder that if  
8 you are one of the participants out there in the  
9 audience, and you would like to make a comment at the  
10 end of our workshop, please use the raise hand feature.  
11 And that let our IEPR team know that you'd like to make  
12 a comment when we get to that section.

13 But for right now, let's open it up to questions  
14 from dais mates. And again, I have a whole list here,  
15 but I'm happy to start with Commissioner Shiroma or with  
16 Neil.

17 CPUC COMMISSIONER SHIROMA: Neil, I'm going to  
18 let you go first.

19 CEC VICE CHAIR SCOTT: Well, I put you on the  
20 spot. I can ask my question, too.

21 CAISO VICE PRESIDENT MILLAR: No problem.  
22 Actually, as we're going through the presentations, a  
23 lot of the challenges for the microgrids actually do  
24 seem appropriately named to just be a microcosm of the  
25 same issues that we're looking at the grid overall, with

1 more grid-connected solar, more grid-connected batteries  
2 now emerging as well. But those solutions alone are  
3 still not getting us past the multiple rainy day, cloudy  
4 day periods where the solution for now continues to rest  
5 with counting on the existing older, gas-fired  
6 generation fleet. And I expect that will continue to be  
7 as a backup solution until a better solution can be put  
8 in place.

9           Now, when I was looking at these microgrid  
10 alternatives, anything moving away to a longer duration  
11 than one or several days that could be accommodated with  
12 battery storage seems to involve some technology that's  
13 totally capable, but does it just boil down to price?  
14 Is that what keeps us from moving into some of these  
15 technologies beyond solar plus storage as a way to  
16 accommodate being disconnected from the grid for a  
17 longer period of time?

18           MR. BROUWER: So, if I may respond to that. The  
19 fuel cell technology that I was talking about can be  
20 deployed commercially today, and at reasonable prices,  
21 prices that end up saving the customers in their  
22 electricity prices. Because remember, these are not  
23 just backup resources, these are resources that run  
24 continuously, displace otherwise purchased grid  
25 electricity, and then seamlessly transition to also

1 provide the backup power that's required.

2           But this is the case for natural gas operation  
3 today, in a way that reduces criteria pollution  
4 emissions and greenhouse gas emissions compared to the  
5 grid, but that cannot be the final solution. The final  
6 solution must be renewable gas going to these  
7 facilities. And biogas is one of the solutions. That's  
8 what Julia was talking about. And renewable hydrogen  
9 has to be one of the solutions. And that's how the  
10 system must evolve, from my perspective, to deliver that  
11 kind of resilience for weeks on end, or seasonally  
12 transfer some of that electricity.

13           Now, again, the batteries are probably a better  
14 resource for the short duration, right. So, if I'm just  
15 going to do the evening peaks, I can do all that  
16 shifting I want every day, you know, with a battery.

17           But the solution to get all the way to zero  
18 needs something like fuel cells and hydrogen, and  
19 biogas.

20           CAISO VICE PRESIDENT MILLAR: If I can just ask  
21 one --

22           MR. BROUWER: Because biogas has to be with us  
23 all the time, right. We have to deal with the biogases  
24 anyway, we might as well use them for these really  
25 important resiliency features we need.

1 CAISO VICE PRESIDENT MILLAR: Just taking that  
2 one step further, then, what keeps us from moving to  
3 that next step? Is it just the lack of requirements for  
4 that extended coverage beyond what batteries -- and I  
5 totally agree that the solution here isn't one or the  
6 other, it's all of the above. That they all help to  
7 work together to play a comprehensive solution.

8 But some of these solutions are only tapping out  
9 at a day, maybe two days of coverage.

10 MR. BROUWER: So, I want to make a suggestion,  
11 right.

12 CAISO VICE PRESIDENT MILLAR: What's the barrier  
13 to move forward to a longer-term solution?

14 MR. BROUWER: I showed several examples of what  
15 is going on in the Northeast, in Connecticut, New York,  
16 New Jersey, and other jurisdictions. And the key thing  
17 that has enabled that is something like what the PUC is  
18 working on now, right, which is to establish a microgrid  
19 tariff that allows these kinds of certified resources to  
20 be used behind the meter, and to serve adjacent  
21 customers, right, in a community setting like this. Or,  
22 for PG&E to instead of installing these diesel gensets  
23 in these locations where PSPS events are going to happen  
24 again for the next ten years, we can start to install  
25 fuel cell systems to meet continuous power, and backup

1 during PSPS events.

2           This is a novel way to think about it, though,  
3 because they're thinking of only putting in things that  
4 will operate, you know, 40 hours a year. Right, you  
5 have to think of this a little bit differently to enable  
6 the solution that we've just been talking  
7 about.

8           MS. LEVIN: So, I'd like to add to that. I  
9 think -- I totally agree with your question, Neil. I  
10 think we need all of the above, as long as all of the  
11 above is renewable. But I think to get there, because  
12 we've seen in the broader RPS, you know, huge growth,  
13 but almost entirely solar with some wind, and a smaller  
14 amount of batteries because of the Energy Storage  
15 Portfolio Standard.

16           I think where we start to see more diversity is  
17 in a program like the ReMAT program that has carve outs  
18 for different operational benefits.

19           So, there are sort of two ways to ensure that  
20 microgrids are diverse and renewable going forward. One  
21 is to address the pricing mechanism, because I don't  
22 think we're very good, yet, at valuing all the  
23 attributes of flexible generation, and baseload power,  
24 and longer duration storage. They're going to need to  
25 receive a higher price, as they should because they

1 provide higher and unique benefits.

2           That's complicated, though. So, honestly, I  
3 think the easier way to do it is to have carve outs for  
4 different operational benefits. Not specific  
5 technologies or fuels, but say, okay, some percentage of  
6 microgrids needs to be -- or, some percentage of storage  
7 needs to be long duration. Some percentage of  
8 generation needs to be flexible generation, some  
9 percentage needs to be baseload so that we get all of  
10 the attributes we need for longer duration reliability,  
11 which is really critical.

12           I think, you know, we've heard a lot of examples  
13 today of microgrids that have been great for a day or  
14 two, but we're looking at PSPS's that could be a week or  
15 two. We're looking at rainy seasons, or earthquake  
16 damage, or other events that could require microgrids  
17 for much longer. And the grid, in general, for much  
18 longer is going to need long term renewable storage.

19           So, I think either we need to deal with the  
20 price issues or we're going to need, you know, a very  
21 specific portfolio approach.

22           CAISO VICE PRESIDENT MILLAR: Okay, thank you.

23           CPUC COMMISSIONER SHIROMA: And this is  
24 Genevieve. If I could sort of tag team with Neil. So,  
25 first of all a few things. Now, in our scoping memo

1 that we issued from the CPUC last Friday, we do include  
2 -- this is kind of long. But we do include that --  
3 ensure that the separate rates and tariffs shall not  
4 compensate a customer for the use of diesel backup, or  
5 natural gas generation, except as either of those  
6 sources is used pursuant to section dah, dah, dah, of  
7 the Health and Safety Code, or except for natural gas  
8 generation that is a distributed energy resource  
9 pursuant to section dah, dah, dah.

10 Okay. Now, so -- and it's all world peace.  
11 Okay, so we realize that there are efforts in the near  
12 term and we've got wildfires, we've got PSPS's, but this  
13 statute also we're looking for the longer term of what  
14 microgrids mean to the California grid. And so, again,  
15 we've got that workshop coming up in August. The date's  
16 not set, yet, but we're looking for alternatives to  
17 diesel.

18 And what happened during the Track 1 is we were  
19 focusing on, substantially, utility scale, and for the  
20 wildfire season. So, we're talking about large, you  
21 know, large backup power, megawatt plus backup. And  
22 there weren't any immediate non-diesel options that  
23 could just plug and play for this coming fall, for the  
24 2020 fire season.

25 Now, we are saying, look, folks, there's a

1 clamor to move away from this. What do you have? What  
2 can you show us? So, hence, many of you will be  
3 involved in those efforts.

4 Now, Jack, I think you're the one, you talked  
5 about some of the fuel cells in Korea, and so forth, 51  
6 megawatts, and so forth.

7 MR. BROUWER: Yes.

8 CPUC COMMISSIONER SHIROMA: Yeah. Maybe you  
9 could talk a little bit more about that in terms of --

10 MR. BROUWER: Let me make -- yeah, very, very  
11 nice discussion, Commissioner Shiroma, thank you for  
12 that. You are correct that in the megawatt class a fuel  
13 cell backup option is not today commercially available.  
14 They are totally commercially available as a backup  
15 power plant only, okay, in the kilowatt class up to 10,  
16 maybe even 100 kilowatts. This is why the  
17 telecommunications, there's over 450 sites in California  
18 alone that are backed up zero emissions hydrogen fuel  
19 cell technology right now, okay. So, these exist.

20 If you want small backup generators, you don't  
21 have to install diesels. You can get a hydrogen fuel  
22 cell today. And it can be cheaper depending upon the  
23 duration. If you just have a long duration that's  
24 required, it's cheaper even than the diesel. So, this  
25 is a really important fact.

1           The larger systems that exist today are natural  
2 gas-fueled or directed biogas-fueled. These systems  
3 also exist today and are even being used at  
4 telecommunication sites, and could be used at these  
5 sites that you're talking about, these microgrid sites,  
6 or these PSPS sites that PG&E is putting together. But  
7 they have to have a different thinking of use it  
8 continuously and backup. It's not just a backup  
9 solution.

10           That's the reason why it kind of -- it doesn't  
11 quite fit into a backup-only solution. And you can make  
12 those up to 100 megawatts. They are utility scale fuel  
13 cell systems.

14           MS. LEVIN: But I think to Jack's point, to  
15 follow on that, and this goes back to the pricing issue,  
16 with renewable hydrogen or biogas, they can provide both  
17 storage and, then, either regular generation or backup  
18 generation. So, somehow, we're going to have to figure  
19 out how to add both of those values. Because I think  
20 what we're seeing under the RPS more generally is solar,  
21 which I believe supports. This is not an anti-solar  
22 comment. But solar's not there 24/7, so it requires  
23 backup generation, it doesn't provide storage, but it  
24 looks really cheap on paper. And per kilowatt hour of  
25 output it is, but not when you look at it on a

1 systemwide basis.

2           And somehow we have to figure out a pricing  
3 mechanism that gives double value to renewable hydrogen  
4 and biogas because they can be both storage and  
5 generation, including backup generation, and flexible  
6 generation which is the most valuable kind. We don't  
7 value them that way now, and that is a big barrier to  
8 entry in the market.

9           The other thing I want to mention, though, with  
10 biogas in particular is it can provide carbon negative  
11 power. And that's something else we don't really value  
12 on the electricity side. We do under the Low Carbon  
13 Fuel Standard, where it works on a lifecycle basis. If  
14 we treated renewable energy the same way, meaning we  
15 really valued how much it can reduce carbon, biogas  
16 would be able to compete quite well, as we're seeing on  
17 the vehicle side.

18           So, I think there are different ways that the  
19 PUC and the CEC could do this that would really more  
20 quickly accelerate the use of renewable fuels in  
21 microgrids.

22           CPUC COMMISSIONER SHIROMA: Very helpful, thank  
23 you. Go ahead, Vice Chair Scott.

24           CEC VICE CHAIR SCOTT: Yeah, thank you. Yeah,  
25 this is Janea. I was just going to say one of the

1 questions I have and it's on a slightly different theme  
2 than what we've just been discussing, but I'm thinking  
3 about it a lot because we just did -- the Energy  
4 Commission just did some great grants I think yesterday  
5 on long term storage, and also some studies in that  
6 space.

7           And so, one of the things that I'm thinking  
8 about a lot, are there any technology or research gaps  
9 that we need to be thinking about how do we address  
10 those, that you all see as we try to bring on more long  
11 term storage. And also, as we think through where are  
12 the right places to put different types of solutions in  
13 this space, right. So, as was mentioned, we might just  
14 need a little bit of short term storage and that could  
15 be a battery. And other places, like Stone Farms that  
16 we heard from earlier, we might want some longer term  
17 storage. Or, you know, as Jack has mentioned, we might  
18 want to think about it as power that's provided that can  
19 be both, both always on and also on as backup. Or, do  
20 we need to do more research in that space as we think  
21 about what does the broader grid at large look like as  
22 we make our way towards the 100 percent Clean Energy  
23 Standard, and we're weaving in these types of solutions.  
24 So, that's a pretty broad question but --

25           MR. MORRIS: Well, I can jump in Vice Chair

1 Scott. Hi, good to see ya. Yeah, I think the  
2 announcements you guys made yesterday are great. It's  
3 exciting to see how you're helping incubate our toolkit  
4 in those ways.

5 I think where CESA has recently undertaken some  
6 pretty substantive modeling using some very fancy models  
7 that, to Neil's point earlier, include kind of the  
8 multiple cloudy day scenarios. And so, it is  
9 indicative, also, of some of the challenges microgrids  
10 have where they need duration at times.

11 What we're seeing is that California has really  
12 large needs, such large needs that it seems very logical  
13 to say -- to make sure we're really ready and we've  
14 invested in the technology. And I can tell you from  
15 part -- you guys are doing part of that work.

16 There's also the financing side of it, which is  
17 also there's this whole downstream getting the support  
18 services ready, helping them build comfort and  
19 experience with everything, and then looking at the  
20 master plan of the grid. And I think to Julia and  
21 Jack's point, is it do we have the right levels of  
22 diversity? Are we valuing things properly and  
23 incentivizing things?

24 So, I think for the Energy Commission, just  
25 trying to wrestle with that financing hurdle is

1 something where I'm actively considering how to do that  
2 because I know there's a lot of next gen technologies  
3 that I think should be able to compete against some of  
4 the incumbent storage solutions. And part of their  
5 challenge is not to figure out the merits of their  
6 technology, but more on the financing and risk side.  
7 And I'm wondering how we, as a state, should address  
8 that.

9           And I think the way we attack, we approach  
10 microgrids will also prepare us for that future by  
11 essentially building the state's comfort with an array  
12 of technologies, or with stacking say a battery with a  
13 longer duration storage solution, and helping engineers  
14 and banks get comfortable with that. And helping, also,  
15 the ISO learn to feel comfort with that resource being  
16 available when it's called upon, et cetera. So, that's  
17 some of my thinking on that.

18           MS. LEVIN: Vice Chair Scott, I would add to  
19 that. I agree with what Alex just said and I would add  
20 to that. I think we do need to see a lot more  
21 demonstration projects that combine biogas and renewable  
22 hydrogen with fuel cells in different applications. A  
23 number of bioenergy projects, particularly in the forest  
24 sector and agricultural sector using gasification, would  
25 like to work with fuel cell companies, which really

1 hasn't been done yet in California.

2           But gasification produces a lot of hydrogen, so  
3 it's likely to be a really good match with fuel cells,  
4 and especially in rural areas that have a lot of forest  
5 waste, or agricultural waste. So, it would be great to  
6 see more demonstration projects in that area.

7           But I really agree with Alex, I think one of the  
8 things we're lacking in California is a good sense of  
9 where the portfolio needs to go in the coming years, so  
10 that we have the right mix of resources. I know it's  
11 impossible to predict perfectly, but I think we're going  
12 to have to do that more going forward as we, you know --  
13 we've done the first 20 percent of the RPS, or we've  
14 gone from 10 to 35 percent, it's going to get harder  
15 now. And we don't want to overbuild things that will  
16 only be used 5 or 10 percent of the time because that's  
17 going to get really expensive.

18           MR. BROUWER: So, I agree with both of my  
19 previous speakers. I'm going to suggest that we also  
20 need to think even further into the future, and that's  
21 when you get to a place where something like renewable  
22 hydrogen, I think, offers unique capabilities and  
23 features that we will need to get to 100 percent on the  
24 grid.

25           One of those is long duration seasonal storage.

1 Another is massive storage, a huge energy amount, but  
2 only a small power amount. You know, when you get to  
3 these kinds of things, hydrogen offers those two kinds  
4 of features.

5           Secondly, I think we must think about what we  
6 want to do with the gas system. We absolutely can't use  
7 the fossil that's in it. How do we transition that? Do  
8 we just divest in it or can we do some research and  
9 development to repurpose it for use of this zero  
10 emissions resource in the future? It offers a  
11 tremendous opportunity for resilience, okay, not just  
12 bringing this renewable via wire, but via pipes also.  
13 And it is a massive energy storage resource already.

14           Most jurisdictions that have looked at this  
15 problem, like Germany, like France, like most of  
16 Europe, like Japan, like Australia, almost all of them  
17 have come to the realization that we must have hydrogen  
18 and fuel cell technology and this transformation of the  
19 gas grid in addition to the transformation of the  
20 electric grid.

21           And finally, I want to make this final point.  
22 Some end uses in industry that need feedstocks, that  
23 need high temperature gases, that need high density  
24 fuels, like ships, and aircraft, and these kinds of  
25 things, these will need I think a renewable hydrogen-

1 derived resource for us to go all the way to zero  
2 emissions. And these are like more futuristic ideas,  
3 but these are also worthy of investment by the  
4 California Energy Commission, the California Air  
5 Resources Board, and others.

6 MR. MORRIS: Yeah, and I agree. I totally agree  
7 that we should place strategic plans for considering all  
8 that stuff. At the same time, you know, what I said in  
9 my remarks earlier is we also have near term solutions  
10 like the example I used was Connect California, where  
11 they have this really small, simple tool to help use to  
12 power homes. It's not a forever solution perhaps. It's  
13 not a two-day solution. But maybe for the 80/20 rule,  
14 the vast majority of people affected, this could be a  
15 really quick, easy tool to enable some relief for them.  
16 Again, it may not work for everyone, but that's the type  
17 of low-hanging fruit maybe we should also factor in.  
18 And we could kind of differentiate it as low-hanging  
19 fruit versus long-term strategic investment planning.  
20 And I think if we had those two halves before us it  
21 would probably be, you know, a good start for us.

22 And Commissioner Shiroma, I mean you probably  
23 feel like you're already doing that, so thank you.

24 CEC VICE CHAIR SCOTT: Great, thank you. Let me  
25 transition to Mike Gravely, who I know has a few

1 questions that have come in from our participants to ask  
2 you all, as well. So, Mike, please go ahead.

3 MR. GRAVELY: Thank you, Vice Chair. There are  
4 two questions that have the most votes. I think with  
5 the time we'll probably try and answer those two as best  
6 we can.

7 So, Jack, the first question is for you in  
8 relationship to fuel cells and your discussions about  
9 how they lower emission profiles, lower than solar. In  
10 more detail can you explain that? And also, can you  
11 explain how fuel cells can achieve emissions and  
12 decarbonization goals?

13 I know you talked a lot about it, but just in  
14 that particular context.

15 MR. BROUWER: Yeah, let me try to be as quick as  
16 possible. Nitrogen oxide emissions are near zero or  
17 one-tenth of that which is required by law, okay. So,  
18 even operating on natural gas they have dramatic  
19 nitrogen oxide reductions in the places where they are  
20 being used, okay.

21 And the second thing is they operate 24/7, as  
22 opposed to only about 24 percent of the time if you're  
23 talking about solar. So, a 400-kilowatt solar system  
24 has only one-fourth of the kilowatt hours it delivers  
25 compared to a fuel cell system.

1           So, if you have renewable fuel going to fuel  
2 cell, it will provide four times the greenhouse gas  
3 savings as a solar farm does. So, it's really capacity  
4 factor that is leading to the larger emissions  
5 reductions associated with the fuel cell, when it comes  
6 to greenhouse gas.

7           And then, of course, criteria pollutant  
8 emissions is always going to be cleaner than the grid.

9           MR. GRAVELY: Thank you. And then, the last  
10 question actually is for you, Julia. And can you  
11 comment on the role of bio forest -- of forest biomass  
12 and microgrids, and they benefits they can provide above  
13 and beyond renewable energy?

14           MS. LEVIN: I'm not sure if I understand the  
15 question completely. But, so, California state law, and  
16 PUC regulations, and emergency orders from the past  
17 several years require forest fuel removal on about a  
18 million acres a year. And we're nowhere near that goal,  
19 yet, but we need to get to that goal as part of  
20 restoring our forests to a healthier state than they are  
21 now. They're full of dead trees, they are full of more  
22 biomass and it's natural because we suppressed fires for  
23 a hundred years. So, we have to more actively managed  
24 our forests. And as I mentioned, several state laws and  
25 emergency orders require that.

1           Right now, both CAL FIRE and the U.S. Forest  
2 Service have suspended prescribed fire in our forests  
3 because of the massive amount of air pollution it causes  
4 and the direct link between air pollution and COVID-19.

5           So, for the foreseeable future the only way we  
6 can get any of that excess fuel out of our forests, that  
7 and dying trees, is mechanical thinning. Once the  
8 material is out of the forests, according to the  
9 California Air Resources Board and the State Association  
10 of Local Air Districts, if you use it for bioenergy it  
11 is 99 or 98 percent lower particulate matter and black  
12 carbon emissions than a prescribed fire, 95 percent  
13 lower methane emissions, and significantly lower smog-  
14 forming pollution as well.

15           So, since state law already requires a lot of  
16 forest thinning and other vegetation removal around  
17 power lines and other infrastructure, once you've  
18 already done that there is no question that the best use  
19 is bioenergy production. But right now that means  
20 gasification, usually in electricity-generating  
21 facilities. But there's no reason that it couldn't be  
22 used to produce renewable hydrogen for fuel cells, or  
23 combined heat and power, or other things.

24           So, I mean back to the research areas, I think  
25 that that's something that we really need to be

1 piloting. Because forest communities are also some of  
2 the most vulnerable communities in the state to  
3 wildfire, and they are the first ones to experience PSPS  
4 events. So, not only would it help us reduce air  
5 pollution, and climate pollution, and get our forests  
6 back to a healthier state, but it could provide local  
7 energy for these very vulnerable rural communities.

8 MR. GRAVELY: Okay, thank you. Back to you Vice  
9 Chair Scott.

10 CEC VICE CHAIR SCOTT: Okay. All right, well  
11 thank you so very much. This was, I think, a very  
12 energetic and enlightening panel. I appreciate all of  
13 you taking your time to lend your knowledge and  
14 expertise to our dialogue today. So, thank you so very  
15 much for that.

16 We are going to transition now to public  
17 comment. So, panelists, you may turn off your cameras  
18 if you like, as may my fellow dais mates.

19 I will turn this to Heather to help lead our  
20 public comment section.

21 MS. RAITT: Thank you, Vice Chair. And, yes, so  
22 briefly just if you would like to make a comment there's  
23 some hands up. But if you haven't done so already,  
24 press the raise hand icon on Zoom. And if you're on the  
25 phone, just press star 9. And we have RoseMary Avalos

1 from the Energy Commission's Public Advisor's Office to  
2 help us through the public comments. Go ahead,  
3 RoseMary.

4 MS. AVALOS: Thank you, Heather. I'll first  
5 call on attendees using the raised hand feature on Zoom.  
6 Please state your name and affiliation, and spell your  
7 first and last name. Also, do not use the speakerphone  
8 feature because we may not be able to hear you clearly.

9 Chris Ball, you may need to unmute on your end.  
10 Your line is open.

11 MR. BALL: Great, thank you for the opportunity  
12 to comment today. My name is Chris Ball, B-A-L-L, and  
13 I'm on the microgrid team at Bloom Energy.

14 So, my comments are in response to the Q&A that  
15 we just had, where it was stated that diesel is the only  
16 option for long-term outages today. And the reality is,  
17 as Jack Brouwer demonstrated, that Bloom Energy's fuel  
18 cells have proven to be a viable solution for long-term  
19 outages, without the unhealthy air impacts that are  
20 associated with diesel engines.

21 So, we have 31 operational microgrids throughout  
22 California alone. And over the last two years we've  
23 protected California customers from over 100 power  
24 outages.

25 Specific to this discussion, Bloom microgrids

1 have powered customers through 65 power outages that  
2 were greater than four hours long. That includes a  
3 PSPS-related outage in Northern California that lasted  
4 for multiple days. So, for almost a full week we  
5 powered a multi-megawatt manufacturing facility with  
6 clean, reliable electricity.

7           And in the epicenter of the 7.1 magnitude Ridge  
8 Crest earthquake last year was nine miles from one of  
9 our systems. So, while the electric grid went down, the  
10 Bloom energy system and the natural gas systems were  
11 unaffected. And we can deploy these microgrids quickly.  
12 So, to support the state with COVID-related efforts, we  
13 deployed a microgrid at Sleep Train Arena in just five  
14 days.

15           So, what that demonstrated is that when public  
16 and private entities work together to solve a pressing  
17 need, be that COVID-19 or wildfires, the technology's  
18 fully capable of extremely fast deployments. Now, our  
19 speed is really limited by legal barriers,  
20 interconnection and tariffs, not any sort of technical  
21 limitations.

22           And because our microgrids operate 24/7 with or  
23 without the electric grid, they are cost competitive  
24 with existing energy costs. So, this means that our  
25 customers are not paying anything extra beyond their

1 normal utility costs, which is different from diesel,  
2 which is going to come in at an additional cost to their  
3 normal utility bills.

4           And, finally, the California Air Resource Board  
5 estimates that 70 percent of the cancer risk that the  
6 average Californian faces for breathing toxic air  
7 pollutants stems from diesel exhaust particles. So,  
8 diesel is not the only option for long-term outages.  
9 Like, we have clean options that are being deployed  
10 today and as Californians we should do everything we can  
11 to support these new technologies. Thank you.

12           MS. AVALOS: Thank you, Mr. Ball.

13           The next commenter is Laura Nelson. And please  
14 state your name and affiliation, and spell your first  
15 and last name. Thank you. Your line is open.

16           MS. NELSON: Hi, thank you. Good afternoon, my  
17 name is Laura Nelson, L-A-U-R-A N-E-L-S-O-N. And I'm  
18 the Executive Director of the Green Hydrogen Coalition.

19           I would like to thank the CEC, the staff, and  
20 Commissioners Hochschild and Shiroma for hosting these  
21 workshops, and also Vice Chair Scott and President  
22 Batjer for your leadership. And, of course, the  
23 panelists for their thoughtful presentations and  
24 insightful remarks.

25           We appreciate the leadership to advance

1 microgrid technologies and solutions, and recognizing  
2 the importance especially in critical communities.

3           The GHC is an educational nonprofit focused on  
4 facilitating policies and practices to advance the  
5 production and use of green hydrogen in all sectors  
6 where it will accelerate the transition to a carbon-free  
7 energy system. When we talk about green hydrogen, we're  
8 referring to electrolysis to convert renewable energy  
9 into hydrogen, and methods converting biomass or  
10 biomethane into  
11 hydrogen.

12  
13           We believe green hydrogen offers a clean  
14 alternative to diesel and gas backup generators today,  
15 based on available technology.

16           In order to make this a reality, we need to send  
17 a strong regulatory signal to the hydrogen supply side  
18 of the market that the sufficient demand will be created  
19 in California to meet these microgrid and resilience  
20 needs.

21           The Green Hydrogen Coalition hopes to see action  
22 on additional funding for pilot and demonstration green  
23 hydrogen microgrids, and also authorized targets for  
24 investor owned utility procurement of hydrogen fuel  
25 cells. And we think investment in hydrogen storage and

1 infrastructure is also important.

2           Green hydrogen can provide a flexible and  
3 dispatchable clean resource, with longer discharge times  
4 than most commercially-available battery energy storage  
5 systems. We support all storage and think it is  
6 critical to the system, but long-duration storage can  
7 ensure reliability for microgrids without needing to  
8 over build and over spend on renewables and battery  
9 storage capacity.

10           We look forward to further collaboration with  
11 the CEC, and the CPUC, and all other stakeholders on  
12 accelerating progress and momentum for green hydrogen in  
13 microgrid applications. That concludes my comments,  
14 thank you.

15           MS. AVALOS: Thank you, Ms. Nelson.

16           We'll now move on to Robert Perry. Your line is  
17 open and you may need to unmute on your end.

18           MR. PERRY: Yes, hi. I want to thank the CEC  
19 and the PUC participants for this extremely critical  
20 workshop. I also want to thank the panelists for  
21 excellent presentations on a real critical topic. I'm a  
22 big believer in hydrogen and fuel cells as a  
23 dispatchable energy resource that will get us to 100  
24 percent renewable.

25           I also want to give a quick shout out to Mary

1 Nichols and the California Air Resources Board for their  
2 recent ruling mandating zero emissions transit. I think  
3 that ruling, in combination with the proceedings within  
4 the CEC and the PUC are going to create a large market  
5 demand, and incentives to scale up hydrogen production.

6 I'd also like to direct the panel's attention to  
7 a biomass gasification project that has been initiated  
8 by the Sierra Resource Conservation District, out in  
9 Auberry, east of Fresno. They've acquired an abandoned  
10 lumber mill in Auberry, and are developing a biomass  
11 gasification campus that would process some of the 20  
12 million dead trees in their district into biomass. And  
13 then, first convert it to syngas, and then later on  
14 extract hydrogen from that. Most importantly, both  
15 syngas and hydrogen are dispatchable energy resources,  
16 which we desperately need.

17 With California currently threatened by  
18 wildfires from approximately 120 million dead trees  
19 located throughout the Sierra Mountain Range, expansion  
20 of this kind of biomass project potentially presents an  
21 incredible opportunity than can benefit the energy,  
22 environmental and economic job sectors.

23 Mostly, as Julia alluded to this, but many of  
24 these rural communities are not only threatened by  
25 wildfires, they're also economically blighted because

1 most of them have -- most of them are formerly lumber  
2 oriented and are now have no economic engine. This  
3 could restart that engine and create a lot of jobs, and  
4 create a large renewable resource that is mandated to be  
5 33 percent renewable by law.

6 So, I'd like for everyone to take a look at what  
7 they're doing out there because I think it could be  
8 really something. Thank you.

9 MS. AVALOS: Thank you, Mr. Perry.

10 And our next commenter is Eli. Please state  
11 your name and affiliation, and spell your first and last  
12 names. Thank you. Eli, you may need to unmute on your  
13 end. Eli, you may need to unmute on your end.

14 Okay, we'll move on to Claire Broome. Your  
15 line is open.

16 MS. BROOME: Thank you. My name is Claire  
17 Broome, C-L-A-I-R-E, Broome, B-R-O-O-M-E. I'm with 350  
18 Bay Area and as a Professor of Public Health.

19 I would like to respectfully disagree with the  
20 previous commentator and suggest that it is critical for  
21 the Commission, for the CEC and the CPUC to look in  
22 great detail at the claims that are being made for  
23 bioenergy, and particularly for use of downed trees in  
24 the Sierras.

25 I think we all would agree that we are not

1 experts in fire management or forest range management.  
2 And while it's correct that prescribed burning is  
3 problematic, there are other alternatives such as  
4 leaving downed trees to create snags and habitat for  
5 forest ecology.

6           So, I think it behooves all of us to have expert  
7 consultation on the range of alternatives. And also,  
8 fire risk management is most important around human  
9 habitation. And getting out millions of snags from  
10 throughout the Sierras is neither necessary, nor  
11 constructive.

12           Secondly, it's really important that there be  
13 full lifecycle greenhouse gas accounting that includes  
14 indirect land use impact for bioenergy resources, and  
15 also a consideration of scalability. I very much agree  
16 that bioenergy can be very valuable for a number of  
17 functions. But if you restrict to the most plausible  
18 and ecologically appropriate sources, there is a limited  
19 quality.

20           And so, being very strategic about how bioenergy  
21 is used is really important for meeting our overall  
22 California clean energy goal.

23           So, I appreciate the creativity and importance  
24 of looking at diversity and long-term storage, but I  
25 think we have to be extremely careful about accurate

1 greenhouse gas accounting that takes into consideration  
2 full lifecycle and indirect land use impacts. And we  
3 also have to consider scalability and alternative uses  
4 for bioenergy. Thank you so much.

5 MS. AVALOS: Thank you, Ms. Broome.

6 Our next commenter has the initials A.D. Please  
7 state your name and affiliation, and spell your first  
8 and last names. Your line is unmuted.

9 MS. DETRIO: Hi. My name's Allie Detrio, with  
10 the Microgrid Resources Coalition. A-L-L-I-E D-E-T-R-I-  
11 O.

12 I don't want to over-harp on the last two  
13 comments, but I'm in strong support of forest biomass  
14 and I think that forest biomass microgrids, in  
15 particular, could really support a lot of the under-  
16 served rural communities in our forested regions,  
17 especially since many of those do not have the physical  
18 capabilities to go solar installed, large battery  
19 systems.

20 But I wanted to make another comment regarding  
21 the lack of alternatives to diesel and just the general  
22 direction of where Track 1 went with the microgrid  
23 proceedings.

24 SB 1339 was never about utility solutions for  
25 microgrids. It was about customer microgrids. There is

1 only one line in that entire bill about utility  
2 solutions. And so, I don't think that we were really  
3 going in the spirit of the actual legislation when we  
4 started to look at utility solutions, only, for Track 1,  
5 when really the goal of the bill was about customer  
6 microgrids.

7           Secondly, in that proceeding, both when it first  
8 opened and then as we continued through it, many parties  
9 asked to submit proposals that would have included  
10 alternatives to diesel back in September, when the very  
11 initial scoping memo was released. Again in December,  
12 at the prehearing conference. And then, again, as we  
13 moved forward through Track 1 of the proceedings.

14           So, there are a lot of alternatives, as many  
15 other stakeholders have spoken about before. And many  
16 parties asked to submit alternative proposals before  
17 January of 2019.

18           So, to the extent that we have diesel, it's  
19 because we did look just at the utilities and we looked  
20 just at conventional solutions, instead of looking to  
21 others.

22           And so, I'm really excited for Track 2 and for  
23 the Commission to now really look towards customer  
24 microgrids, look at developing the microgrid tariffs, as  
25 the SB 1339 legislation stated, so that we can get a

1 diverse portfolio of microgrids deployed widely across  
2 the state.

3           So, I just wanted to make sure that everyone was  
4 aware that there were lots of parties that did want to  
5 submit alternative proposals when it comes to  
6 alternatives to diesel and utility solutions. Thank  
7 you.

8           MS. AVALOS: Thank you, Allie.

9           The next commenter is Diane Moss. Your line is  
10 open and you may need to unmute on yours.

11           MS. MOSS: Hi. Can you hear me? This is Diane  
12 Moss. And are you able to hear me?

13           MS. AVALOS: Yes.

14           MS. MOSS: Okay, great. I'm Diane Moss, D-I-A-  
15 N-E M-O-S-S. Policy Director for the California  
16 Hydrogen Business Council.

17           And thank you so much to the panelists for this  
18 wonderful panel. And to all of our agency officials who  
19 put aside the time today to have this very important  
20 discussion.

21           As it was pointed out during the panel, the rise  
22 of fossil fuel generators in the wake of wildfires and  
23 PSPS has air quality impacts that are all the more  
24 devastating now that we are dealing with COVID-19, as  
25 well as elevated pollution during fire season, in fire

1 communities.

2           And I just want to reiterate the CHBC's support  
3 for the concept that hydrogen fuel cells for backup  
4 generation are a really obvious choice over fossil fuel  
5 combustion generators. Because along with the long-  
6 duration power that they supply, like traditional  
7 generators do, they also emit zero criteria air  
8 pollutants which helps a lot with that air quality  
9 issue, as well as being more reliable and emitting less  
10 greenhouse gas, even when using conventional hydrogen.

11           The CHBC, to be clear, supports a transition to  
12 100 percent renewable or zero carbon hydrogen content.  
13 That said, the renewable hydrogen market, similar to the  
14 renewable electricity market, needs a transition time to  
15 achieve the economies of scale to get there.

16           So, we need programs to make it easier for  
17 consumers to affordably choose hydrogen fuel cells for  
18 multi-day, onsite generation over the polluting status  
19 quo fossil fuel generators currently dominating the  
20 market.

21           And as we also heard, and CAHBC wants to  
22 support, that electrolyzers also have a role to play in  
23 resilience applications like microgrid systems, which UC  
24 Irvine's research, and pioneers like Stone Edge Farm,  
25 earlier today, are so brilliantly showing us.

1           So, in sum, we strongly support programs,  
2 including pilot programs that help expand the market for  
3 hydrogen fuel cell and electrical technologies as  
4 applied to microgrids, and that would allow the state to  
5 better understand the challenges and benefits of these  
6 technologies.

7           So, we hope that the Energy Commission will  
8 include this among the recommendations in the IEPR  
9 Update, and that our colleagues at the PUC also pursue  
10 this in their microgrid program designs. Thank you so  
11 much.

12           MS. AVALOS: Thank you for your comment, Ms.  
13 Moss.

14           That concludes the comment period. I turn to  
15 you, Vice Chair Scott.

16           CEC VICE CHAIR SCOTT: Okay, let's see, have I  
17 popped back up, yet? Thank you very much. Appreciate  
18 all of the comments.

19           Let me turn to my fellow dais mates to see  
20 whether they have closing remarks, and when they're  
21 finished I will make mine.

22           I see Commissioner Shiroma first, would you like  
23 to go?

24           CPUC COMMISSIONER SHIROMA: Sure, thank you.  
25 Well, thank you so much, Vice Chair Scott. Folks, Vice

1 Chair Scott contacted me a number of months ago saying  
2 she has this chapter to complete for the IEPR and  
3 looking at a two-day workshop, and how about  
4 collaborating. And I very much appreciate the  
5 opportunity to listen, learn and participate in the day  
6 and a half, two days of workshops. The panels were  
7 excellent and the slide deck was very good. And I feel  
8 like, okay, got to roll up our sleeves and figure all  
9 this out for now and for the future. So, thank you so  
10 much.

11 CEC VICE CHAIR SCOTT: Thank you. I was  
12 delighted to work on this together with you.

13 Let's turn to Neil and see if we have closing  
14 remarks from the ISO, please.

15 CAISO VICE PRESIDENT MILLAR: Yes, thanks Chair  
16 Scott. I also want to thank you for the invitation to  
17 the ISO to participate in this workshop. The connection  
18 to the ISO might not have been as obvious, but this has  
19 been a wonderful opportunity for us to learn about the  
20 state of evolution of the microgrids, where we can play  
21 a role and what we can do to support.

22 I have to admit, too, I also enjoyed how part of  
23 this discussion evolved from microgrids to backup, to  
24 actually resource planning on any grid, whether it's a  
25 microgrid or the grid. There's an awful lot of overlap

1 with common challenges and issues there.

2           So, thank you very much and I really appreciated  
3 the opportunity to participate and learning about where  
4 we're at. Wonderful presentations and panels. Thank  
5 you.

6           CEC VICE CHAIR SCOTT: You're more than welcome.  
7 Delighted to have you, as well.

8           Let me, I just wrote down a few quick summary  
9 points that I heard. This obviously will not recapture  
10 everything that we heard over the last two days, but  
11 just some things that jumped out at me as we were  
12 talking. I do want to thank all of our panelists for  
13 their excellent presentation. I feel like it was just  
14 chalk full of really good information. And I'm really  
15 looking forward to seeing all of the comments that we  
16 receive on the docket, as well.

17           A couple of the themes that I heard was the need  
18 to continue the education on microgrids and the services  
19 that they can provide, and that's how we can really roll  
20 them out into places where folks are not as familiar  
21 with microgrids as those of us who sat on these two days  
22 of Zoom meeting are.

23           And how can we emphasize the benefits of the  
24 microgrids when we're talking to folks that we need to  
25 help install them.

1           How do we make sure that the components are more  
2 modular so that microgrids are easy to scale and easy to  
3 replicate.

4           How do we make sure we highlight the benefits to  
5 rural, low income, disadvantaged and Tribal communities.

6           We talked a little bit about the financing. And  
7 so, even though that there are savings that people are  
8 seeing from microgrids, it's not always calculated, and  
9 these are oftentimes savings that aren't up front. So,  
10 they may not be considered as folks are making  
11 investments.

12           And we also heard that in these tough times,  
13 with COVID and the economy right now, the discretionary  
14 funds that people have, they may not want to put them  
15 towards things, even though they can see that the  
16 benefits are coming from them.

17           We talked about how we bring these solutions to  
18 existing buildings, and existing neighborhoods, and how  
19 important that is to getting the state to the 100  
20 Percent Clean Energy Standard.

21           We heard through several panels questions about  
22 whether we are appropriately valuing resilience and  
23 flexibility as we think about the cost of microgrids.

24           We heard a strong sense of needing to move away  
25 from diesel for multiple reasons, including at hospitals

1 and other places because of the dire health impacts of  
2 diesel particulates. And that we ought to consider  
3 hydrogen and other options when we need to island from  
4 the grid, especially when we're looking at longer terms,  
5 or needing longer-term storage.

6           So, that's a super quick summary of, you know,  
7 two and a half days -- a day and a half of panels. But  
8 I just wanted to reflect back a few of the things that I  
9 heard during the discussions.

10           I do want to say thank you so much to all of the  
11 folks who participated, and put in questions, and  
12 provided comments to us. And I really do want to thank  
13 our excellent speakers, our moderators, and the IEPR  
14 team. They just brought in, I thought, really thought  
15 provoking presentations, and robust data and information  
16 for us to lay a really good foundation, and keep moving  
17 forward working together.

18           And last, but certainly not least, I want to  
19 thank my fellow Commissioners, and the Public Utility  
20 Commissioners for joining us, and also the California  
21 Independent System Operator. It's always great fun to  
22 do these IEPR workshops jointly, in this way, and to  
23 gather and share information, and to be able to share  
24 with you what the Energy Commission's thinking about,  
25 and also to hear back what's important to the Public

1 Utilities Commission and to the ISO.

2           So, thank you again for also taking time out of  
3 your days to join us on Tuesday and today. I really  
4 enjoyed having you here.

5           I might ask our team if they could please pull  
6 back up the screen that showed the comments, and maybe  
7 we can end on that. So, if there are folks that would  
8 like to provide written comments to the Commission, the  
9 instructions have been up on the screen previously. And  
10 I believe they were due on July 30th, if I remember  
11 correctly.

12           And I'm not seeing the link pop back up but, of  
13 course, you can find that on our webpage. And if you've  
14 got -- here it comes. If you have studies, or data, or  
15 other information that you would like to share with us,  
16 please be sure to send that into us on the docket. We  
17 would really like to hear more from you.

18           And with that, thank you again to everyone for  
19 joining us. I thought this was a terrific day and a  
20 half. My brain is happy. So, on that note I think  
21 we're adjourned. Thank you everybody for joining us.

22           (Thereupon, the Workshop was adjourned at  
23 4:04 p.m.)

24

25

## CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 29th day of September, 2020.



---

MARTHA L. NELSON,  
CERT\*\*367

**TRANSCRIBER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 29th day of September, 2020.



---

Barbara Little  
Certified Transcriber  
AAERT No. CET\*\*D-520

