

**DOCKETED**

<b>Docket Number:</b>	20-IEPR-02
<b>Project Title:</b>	Transportation
<b>TN #:</b>	235909
<b>Document Title:</b>	Transcript of August 6, 2020 Session 4 Commissioner Workshop on Plug-in Electric Vehicle Charging Infrastructure
<b>Description:</b>	N/A
<b>Filer:</b>	Cody Goldthrite
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	12/10/2020 3:23:41 PM
<b>Docketed Date:</b>	12/10/2020

CALIFORNIA ENERGY COMMISSION

IEPR COMMISSIONER WORKSHOP

In the Matter of: ) Docket No. 20-IEPR-02  
 )  
 )  
 Plug-in Electric Vehicle )  
 Charging Infrastructure )  
 )  
 \_\_\_\_\_ )

CALIFORNIA ENERGY COMMISSION

PLUG-IN ELECTRIC VEHICLE CHARGING INFRASTRUCTURE

REMOTE

SESSION 4: THURSDAY, AUGUST 6, 2020

2:30 P.M.

Reported by: Jacqueline Denlinger

## APPEARANCES

CEC COMMISSIONERS (AND COMMISSIONER ADVISORS) PRESENT:

Patty Monahan, 2020 IEPR Update Lead Commissioner  
David Hochschild, CEC Chair  
J. Andrew McAllister, CEC Commissioner  
Richard Corey, California Air Resources Board Executive  
Officer

STAFF PRESENT:

Heather Raitt, Assistant Executive Director, Policy  
Development  
Jonathan Bobadilla  
Rosemary Avalos, Public Advisor's Office  
Matt Alexander

PRESENTERS:

Alan Jenn, UC Davis  
Siobhan Powell, Stanford University  
Eleftheria (Ria) Kontou, University of Illinois

PANELISTS:

Eric Wood, National Renewable Energy Laboratory  
Dong-Yeon Lee, National Renewable Energy Laboratory  
Bin Wang, Lawrence Berkeley National Laboratory

PUBLIC COMMENTS:

None

## INDEX

	Page
1. Call to Order	4
2. Examining Existing and Future Infrastructure Needs Throughout California (Alan Jenn, Siobhan Powell, Eleftheria Kontou)	8
3. Public Comments	72
Reporter's Certificate	
Transcriber's Certificate	

## P R O C E E D I N G S

1  
2 AUGUST 6, 2020

2:30 P.M.

3 MS. RAITT: Good afternoon, everybody. Welcome to  
4 today's 2020 IEPR Update Commissioner Workshop on Plug-in  
5 Electric Vehicle Charging Infrastructure.

6 I'm Heather Raitt, the program manager for the IEPR.  
7 Today's workshop is being held remotely to encourage physical  
8 distancing to slow the spread of COVID-19. The meeting is  
9 being recorded. We'll post the recording and written  
10 transcript on our website. Also presentations for today have  
11 been posted. This is the fourth and final session of this  
12 workshop.

13 And today, this afternoon we'll be using the Q&A  
14 function in Zoom, including being able to vote on questions  
15 posed by others. So attendees may type questions for  
16 panelists by clicking on the Q&A icon. And before typing,  
17 please check to see if someone else has already posed a  
18 similar question, and if so, you can click the thumbs up to  
19 vote on it and that will move the question up in the queue.  
20 Well, reserve about five minutes at the end of the panel for  
21 attendee Q&A. And so given the time restrictions, we're  
22 likely not to be able to elevate all questions received.

23 So now I'll go over how to submit comments on the  
24 material in today's workshop. We'll have an opportunity for  
25 public comments at the end of the session. Please note that

1 we will not have time for panelists to answer questions  
2 during that public comment period.

3 For those using Zoom online, click the raise hand  
4 icon to let us know if you'd like to make a comment. And if  
5 you're on the phone, press star 9 to raise your hand.  
6 Alternatively, written comments are welcome, and they are due  
7 on August 27 and you can look at the notice for all the  
8 instructions on how to submit written comments.

9 And with that I'll turn it over to Commissioner Patty  
10 Monahan. Thank you.

11 COMMISSIONER MONAHAN: Great. Thanks, Heather. And  
12 thanks everybody for joining the afternoon session. The  
13 morning was fascinating. We're really working hard at the  
14 Energy Commission to produce a report for the requirements of  
15 AB 2127 to evaluate the charging needs for meeting  
16 California's goals for transportation electrification,  
17 specifically having 5 million electric vehicles on the road  
18 by 2030.

19 One of the interesting things we heard this morning  
20 from Joshua Cunningham from the Air Resources Board is that  
21 in order to meet California's goals for having a carbon  
22 neutral economy by 2045, we may need more electric vehicles  
23 than are currently -- than are currently projected. And  
24 there may be an opportunity through new rulemaking for light-  
25 duty vehicles to accelerate some of the electric vehicle

1 goals that we have as a state. So.

2           And I really view this research, research that's  
3 happening, some funded by us and some by other entities to  
4 evaluate charging needs to be really critical to being able  
5 to deploy electric vehicles. We know already that -- that we  
6 are sort of falling behind in terms of our infrastructure,  
7 meeting our infrastructure goals for 2025. And looking  
8 forward to 2030 we -- there's so much new technology on the  
9 horizon, new charging opportunities, and we need to work  
10 together with all these different entities, with utilities,  
11 with individual charging providers to make sure that we're  
12 doing all we can to support California's transition to  
13 electric vehicles.

14           Some have likened this to the Manhattan Project. I  
15 wish there was like a less altruistic example of this but  
16 there is something to this idea that we need to harness  
17 innovation. We need all the best researchers on our side and  
18 helping implement this. And we need a private sector and a  
19 public sector partnership that's -- that is closely working  
20 together to make sure that we can build out the  
21 infrastructure needed for transportation electrification.

22           So with that, I think, although there's other folks  
23 mentioned on the dais, I'm not sure if they're actually here  
24 with me. I just want to confirm with Heather. Is there  
25 anybody else on the dais.

1 MS. RAITT: I don't see anybody else right now.

2 COMMISSIONER MONAHAN: Okay, great. So why don't we  
3 kick it off. I think, Heather, am I turning it over to you  
4 for introductions?

5 MS. RAITT: Sure. Thanks, Commissioner.

6 Yeah, so this afternoon we have a panel on Examining  
7 Existing and Future Infrastructure Needs Throughout  
8 California. And joining us again from this morning, we have  
9 panelists Eric Wood, DY Lee, and Bin Wang, and we have Matt  
10 Alexander who will -- is from the Energy Commission and he'll  
11 be moderating the panel.

12 So go ahead, Matt.

13 MR. ALEXANDER: Thank you, Commissioner Monahan and  
14 Heather for those opening remarks.

15 Yeah, I'd just like to echo the importance of these  
16 discussions and I think we've really assembled an excellent  
17 team for our work and for this discussion today. So I'm  
18 really excited to introduce three more presenters this  
19 afternoon to join Eric, DY, and Bin from this morning. I'll  
20 introduce each of them individually.

21 And we'll be starting with Alan Jenn, who is the  
22 Assistant Director at the Institute of Transportation Studies  
23 at the University of California, Davis. Alan's research is  
24 focused to plug-in electric vehicles, integration with the  
25 electric grid, adoption of the technology, use and ride-



1 hailing companies, and its impact on transportation finance.  
2 Alan has a PhD in Engineering and Public Policy from Carnegie  
3 Mellon University and is an affiliate of Lawrence Berkeley  
4 National Labs.

5 Alan, please take it away.

6 MR. JENN: Great. Thank you very much for the  
7 introduction. Good afternoon, everyone.

8 So today I'll be talking about optimizing  
9 infrastructure deployment specifically for electric vehicles  
10 driving for TNCs, or transportation network companies, which  
11 you may know as companies such as Uber and Lyft.

12 So there's already been a lot of great discussion  
13 about infrastructure deployment in general. And this study  
14 that I'm presenting, which will highlight a couple of  
15 results, is mainly focused on EVs within this particular  
16 service.

17 And so the first question you might ask, if you can  
18 go to the next slide is well, why is this such a big deal?  
19 When we think about how many electric vehicles there are, you  
20 know, driving for services like Uber and Lyft, you're talking  
21 about on the order of a couple thousand these days in  
22 California. But when you think about the total number of  
23 electric vehicles in California, you're talking about over  
24 half a million vehicles. So it represents a very small  
25 proportion.

1           However, when we look at this chart here, one of the  
2 things that was pretty surprising when we looked at the data  
3 is that these TNCs, even though they represent a small  
4 fraction of the total number of vehicles, they're using a  
5 disproportionately large amount of public charging. And so  
6 because we expect this to grow, and for electrification to be  
7 happening within these service sectors continually over the  
8 next decade, I think that specific attention needs to be paid  
9 to our deployment of infrastructure to meet these needs.

10           So go on to the next slide.

11           So here this is kind of a real high-level overview of  
12 the modeling approach that we took to deploy infrastructure.  
13 And I think one of the unique things about our approach is  
14 that we're actually able to leverage real data from both Uber  
15 and Lyft in order to best understand how to complement the  
16 infrastructure deployment with the actual ride-hailing  
17 behavior that's happening both, you know, at particular time  
18 and in particular locations. And so I'll talk a little bit  
19 about going through each of these steps but I'm not going to  
20 spend too much detail. You can feel free to contact me  
21 afterwards if you'd like to learn a little bit more about the  
22 methods.

23           And so basically what we're doing here is we are  
24 simulating demand using real data so that we can look at  
25 different forecasts of electric vehicles being driven on Uber

1 and Lyft platforms. And then we're figuring out essentially  
2 how to deploy the infrastructure in the ways that are  
3 reducing costs to charge, but also reducing downtime for  
4 drivers which includes both traveling to the charger, and the  
5 act of waiting to charge the vehicle itself. And of course,  
6 everything has to meet the actual energy requirements for the  
7 trips that are being provided. And so there's some kind of  
8 minimum number of chargers needed in order to fulfill that  
9 demand.

10 So go on to the next slide.

11 So this is a quick sort of demonstration of what's  
12 called bootstrapping. Essentially what we do is we sample  
13 from the empirical data and we say, hey, I'm going to just  
14 randomly pick out this trip and then I'm going to follow that  
15 car throughout that day and do that for X number of cars.  
16 And we can do that in this particular example for about 1,000  
17 vehicles. And so -- so in this diagram, it's showing every  
18 day where the demand is happening. And by doing this  
19 bootstrapping, we are getting very sort of good  
20 representation of what we expect in reality for that number  
21 of vehicles to be providing that level of service.

22 So go ahead to the next slide.

23 Did we -- did we lose the slides or --

24 MR. RAYNOLDS: Technical difficulty. One moment and  
25 they'll be right back up. Sorry.

1 MR. JENN: Okay. No problem. I'll -- I can -- I can  
2 sort of continue on while we bring the slides back up.

3 Because of the nature of the way we do the  
4 simulation, one of the benefits is that we can actually -- we  
5 can simulate different numbers of vehicles. And this is  
6 going to help with projections over time for how many  
7 electric vehicles you might expect to be driving on an Uber  
8 or Lyft platform. And so in the model scenarios that we're  
9 doing right now, we just have kind of rough order of  
10 magnitudes on running simulations with 100 vehicles, 1,000  
11 vehicles, and 10,000 vehicles in each -- in each of the  
12 regions.

13 The optimization has some straightforward portions of  
14 costs, which is simply how much it costs to install the  
15 infrastructure, how much it costs to charge the vehicle. But  
16 then we also try and include some waiting parameters for how  
17 drivers or how the system may value the time of drivers. So  
18 how long it takes to travel to charging stations and how long  
19 it takes to charge those vehicles.

20 So go on to the next slide.

21 And here I'm just going to highlight some of these  
22 results and what's happening. So this is an example in the  
23 Greater Los Angeles area where we have 100 TNC vehicles  
24 operating in Los Angeles compared to 1,000 vehicles. One of  
25 the consistent things that we're finding is that there's high

1 demand at the metered airport. So LAX and in downtown. And  
2 that's consistent actually through all the cities that we  
3 looked at, San Diego, Los Angeles, and San Francisco. This  
4 may be sort of intuitively obvious, but the more vehicles  
5 that we're adding into our system, the more chargers that are  
6 necessary to meet those requirements. And so you can -- you  
7 can see that explicitly here. But it's -- but it is telling  
8 us sort of strategically where to place those chargers and  
9 actually how much those chargers are being utilized to meet  
10 the demand of these either 100 vehicles or 1,000.

11           So go on to the next slide.

12           As I mentioned before, one of the things that we can  
13 play around with is the value of the traveling time and the  
14 value of the charging time to the drivers. Because those are  
15 kind of not really explicit cost, but things that we can  
16 parameterize. And so here on the left-hand side, we can see  
17 what happens when we lower the waiting parameter. In other  
18 words, we say, oh, you know, the drivers don't mind so much  
19 spending a little bit more time to charge. And what ends up  
20 happening is you get a deployment of a lot of Level 2  
21 chargers versus on the right-hand side you can see there's a  
22 lot fewer chargers but they're predominantly DC fast  
23 charging.

24           And so there is this sort of cost tradeoff between  
25 how much we value the time and how much we're willing to sort

1 of put in. And so having this flexibility allows us to give  
2 a variety and set of different scenarios to interested  
3 stakeholders that are trying to figure out, you know, what  
4 the best deployment strategy will be.

5 Next slide.

6 One other set of scenarios that I that -- that I  
7 hadn't mentioned yet is that most of these baseline scenarios  
8 were basically assuming that a lot of the vehicles are doing  
9 public charging rather than -- public charging during the  
10 day, rather than charging in sort of off times -- off peak  
11 times. And that is kind of reflected by a lot of the  
12 behavior that we're seeing today, but that's not necessarily  
13 something that will continue on into the future, depending on  
14 how charging plans might happen, for example, and as a  
15 diversity of drivers may change.

16 And so we wanted to be able to look at sort of the  
17 other end of the spectrum. What happens if basically all the  
18 drivers are just maximizing overnight charging and so you  
19 only need public charging when you run out of battery during  
20 the day. And what that does is effectively lower the daytime  
21 charging demand. And you can see reflected in here, one of  
22 the scenarios which lets us look at how -- how fewer chargers  
23 are needed to meet that lower demand and the associated costs  
24 are going to decrease quite a bit as well.

25 Okay, move on to the next slide.

1           What is the value of reducing time to travel. One of  
2 the things that we found is that there's a clear gain in  
3 adding the chargers to reduce travel time. And so as I add  
4 more and more chargers, there's actually a sort of  
5 precipitous drop off in the time it takes to travel for those  
6 certain vehicles to get to the chargers. And so there's kind  
7 of this inflection point which you might consider sort of an,  
8 at least a minimum ideal number of chargers.

9           That's not to say that all those points on the right  
10 are scenarios that you don't want because they're actually  
11 doing other issues that are sort of graphed in here. You're  
12 increasing -- or you're decreasing the charging time by  
13 having faster chargers. You're also needing to meet more  
14 demand as you increase the number of vehicles.

15           Let's go ahead to the last slide.

16           And so we are finalizing the developments of the  
17 WIRED model. As I mentioned before, you know, we're doing  
18 these rough estimations of 100,000, 10,000 vehicles, but we  
19 can calibrate this now to more realistic numbers that we  
20 might expect to see in each of those cities. So for example,  
21 you know, the Clean Mile Standard from the Air Resources  
22 Board regulation, that's going to have some projections  
23 associated with it and we can now sort of take some of those  
24 numbers and plug them into this model to see, you know, if we  
25 were to meet the Clean Mile Standard how we're going to meet

1 that regulation and what the associated infrastructure  
2 deployment might be to meet that demand.

3 The other thing, sort of next steps for this project  
4 is you've heard a lot about a lot of the other infrastructure  
5 deployment models and so we want to be able to combine and  
6 work with them. And so, you know, the modeling here has  
7 actually left flexibility to start to plug-in existing  
8 stations or future projected stations all into this ecosystem  
9 so that it can allow these TNCs to charge at existing  
10 infrastructure and say, hey, what are the new infrastructures  
11 that we need in addition to what EVI-Pro 2 and RoadTrip are  
12 saying.

13 Yeah, and so I'll leave it at that. I know I'm kind  
14 of running out of time and so, yeah. Thanks for your  
15 attention and hopefully we'll get some good conversation  
16 soon.

17 MR. ALEXANDER: Thank you, Alan, for that  
18 presentation. The TNC modeling is really interesting and I  
19 think going to be impactful moving forward.

20 I'd next like to introduce Siobhan Powell. Siobhan  
21 is a fifth year PhD student at Stanford University where she  
22 is advised by Professor Ram Rajagopal. She also collaborates  
23 with the GISMo Group at the neighboring SLAC National  
24 Accelerator Laboratory where she has been part of the CEC-  
25 funded EV projects The Smart Charging Infrastructure Planning



1 Tool as well as Divine. Her dissertation is on modeling the  
2 impact of EVs on the grid both short- and long-term small and  
3 large scale.

4 Siobhan, with that, please take it away with your  
5 presentation.

6 MS. POWELL: Great, thank you so much for the kind  
7 introduction, Matt, and for the invitation. I'm really happy  
8 to be here today and share some of our work.

9 Today I'll be presenting on a new project called  
10 SPEECh. I'm not sure -- I don't see the slides, I'm not sure  
11 if that's just me. But I can continue until they come.

12 MR. ALEXANDER: I'm not seeing the slides, either,  
13 Siobhan, so hopefully we're working those technical  
14 difficulties out. Oh, I think they're coming now.

15 MS. POWELL: Okay. Oh, great. Thank you.

16 So SPEECh stands for Scalable Probabilistic Estimates  
17 of EV Charging. And this is in its preliminary stages, so I  
18 won't show many results, but I'll focus more on the design of  
19 the framework and the methodology.

20 And so next slide, please.

21 So with this model, we're proposing a fast, flexible,  
22 data-driven framework that uses graphical modeling to take a  
23 statistical view of EV modeling and add a statistical layer  
24 on top of the more detailed methods. You could say that  
25 SPEECh is designed to speak to you about the data.

1           We have many collaborations. We're collaborating  
2 with Eric at NREL, as you heard from this morning, to add our  
3 framework as a statistical layer of analysis on top of EVI-  
4 Pro to make a tool we're calling EVI-Pro Turbo. We're also  
5 collaborating with Gustavo and the team at SLAC to build on  
6 the control modeling developed in SCRIPT. And working with  
7 Matt and Noel to extend the model further to offer insight on  
8 particular policies.

9           And before I go into further detail on any of these,  
10 I want to thank Eric, Gustavo, Matt, Noel, and our many  
11 collaborators at Stanford and SLAC for their support of this  
12 work.

13           To support each of these applications, the SPEECH  
14 framework is designed to capture the wide range of driver  
15 type behaviors, uncertainties, and use cases that drive  
16 scenarios of EV charging. And our goals for these scenarios  
17 is to support and contribute to planning for electrification  
18 in California and in communities around the world.

19           Next slide, please.

20           As a quick outline, I'll start by explaining the  
21 methodology and then I'll highlight and illustrate these five  
22 key features of the framework. The data-driven discovery of  
23 driver behaviors, the ability to combine multiple data types  
24 and data sources, our vision for the model as an interactive  
25 tool, the estimation of uncertainty, and the modeling of

1 controlled charging.

2 Next slide, please.

3 So this slide presents the graphical model that's at  
4 the base of our methodology. It works by separating the  
5 drivers into different groups and then modeling the charging  
6 for each group. All of the models and distributions in this  
7 version are learned directly from charging data. So for  
8 example, let's consider a driver in Group Number 1. On a  
9 given weekday they may have an 80 percent probability of  
10 charging at their workplace. And then if they have a  
11 workplace charging session, the sessions model, following  
12 through the steps at the top, can generate a probable arrival  
13 time, duration, and energy for their session.

14 Then once we have these parameters of the session,  
15 there's the option to implement charging control, as we'll  
16 show later, and all together these define the load profile  
17 for that driver. So this together with the distribution over  
18 the different driver groups let's us quickly generate the  
19 profiles of many millions of individual drivers, which can  
20 combined to create scenarios for the overall load.

21 Next slide, please. Thank you.

22 So we do the -- we identify the different driver  
23 groups using clustering. And this approach lets us discover  
24 many interesting and surprising behaviors. To give a couple  
25 examples of behaviors we've identified in the charging data,

1 we use -- we observed many drivers frequently topping up and  
2 charging small amounts of energy by habit, rather than  
3 waiting until they're empty. We observed many drivers who  
4 habitually used multiple types of charging, both workplace  
5 and public, for example. And we also see that some drivers  
6 choose to use timers to rely on their at-home charging with  
7 cheaper TOU periods, and others do not in the same situation.

8 Overall, we find that driver preferences and access,  
9 frequency charging, and battery capacity are the key drivers  
10 of the clustering. So here at the bottom is an example from  
11 the EVI-Pro Turbo using data output by EVI-Pro 1 that  
12 clusters into five driver groups. These five plots show the  
13 load profiles for a typical weekday for each group. And we  
14 can see in this example that the first driver group on the  
15 left has drivers who depend on residential charging. The  
16 second driver group uses more public charging. The third,  
17 workplace. The fourth has users that frequently use both  
18 public and residential. And the fifth has drivers that  
19 frequently use workplace and residential.

20 Next slide, please.

21 So this modular framework means that the driver  
22 groups are very flexible. Representing different segments of  
23 the load, as one example, we could have some drivers from our  
24 fleet modeling, combined with some drivers from individual  
25 drivers, as we've been talking about. It also means that the

1 driver groups can span multiple data sets. So one driver  
2 group could be from EVI-Pro data where another driver group  
3 could be from another data source. And this helps us build a  
4 rich catalog with different behaviors to include together in  
5 the model.

6 And crucially, we can also define these driver groups  
7 even where there's detailed travel data or charging data  
8 missing. So as one example, we're working with collaborators  
9 in India to develop an Indian use case of the model where  
10 some segments of the layers have less data available. For  
11 example, there are no large household travel surveys. But  
12 this framework lets us define driver groups in session  
13 statistics as user input. So the model can still work and  
14 include all of the segments.

15 Next slide, please.

16 So here's an example output from EVI-Pro Turbo using  
17 the five driver groups we looked at earlier. This scenario  
18 shows 1 million drivers, which took about 30 seconds to run.  
19 And within this framework, we can easily change the  
20 distribution of our driver groups. If we change that  
21 distribution to include more drivers with preference for  
22 charging at home, say from Group 1.

23 Next slide, please.

24 Then this is the result. And we can see the load  
25 shifted towards the evening, towards residential charging and

1 away from workplace and public.

2 Next slide, please.

3 Another knob that we can turn is the distribution of  
4 our session's behaviors. So we're using a mixture model for  
5 this sessions data where each mixture component captures a  
6 separate behavior. If we change the distribution over  
7 components to increase the proportion of drivers who delay  
8 and charge later into the night or into the morning.

9 Next slide, please.

10 Then we can see how the overall load profile changes.

11 Next slide, please.

12 Being able to change these distributions and turn  
13 knobs in the model is important because it creates the  
14 possibility of interacting with the model, kind of in real  
15 time to compare and generate different scenarios and see how  
16 the model interprets the charging data. This example here  
17 shows three plots with a sample load profile comprised of  
18 drivers from Groups 1 and 3. And the idea is that sliding  
19 the slider on the right can change the proportion of drivers  
20 from each of the groups and then you can see the immediate  
21 and dramatic effect on the overall scenario.

22 So the code that we're developing for this tool will  
23 be all open source and run in Python really quickly and  
24 simply on a laptop. You saw the knobs that we can turn for  
25 driver types or charging behaviors. We also have a knob for

1 control and we're working to add more to help us answer  
2 particular questions. So for example, how does the load  
3 profile change depending on the housing type of drivers, or  
4 if they're more later adopters.

5 Next slide, please. Thanks.

6 So another feature of the model is that it can be  
7 used to estimate sensitivities to different inputs or  
8 uncertainty in the load profile. In this example, we  
9 generated the load for 1,000 drivers from Group 4. And then  
10 reran that 1,000 times to calculate a range of estimates.

11 So the black line here on the right shows the median  
12 with sleeves for the 10<sup>th</sup> to 90<sup>th</sup> percentile of those outputs.  
13 And this estimate was generated, again, in about 30 seconds.  
14 Uncertainty is important -- important for planning and each  
15 element in the framework is probabilistic so the  
16 distributions underpinning the graphical model are really  
17 critical to modeling this.

18 Next slide, please.

19 Yeah, so finally control. In SCRIPT, the Smart  
20 Charging Infrastructure Planning Project, which is a project,  
21 an EPIC funded projects at SLAC National Lab. We developed a  
22 data-driven methodology for modeling the impacts of workplace  
23 charging control. So this example here uses the base case we  
24 saw earlier on the left, and then applies control for PG&E's  
25 E-19 rate schedule which affects many workplace parking lots

1 in this area.

2           You can see here how the load has flattened. The  
3 green part is the workplace load but was flattened and moved  
4 away from the peak period, both earlier into the morning and  
5 spread throughout the afternoon. With that methodology, once  
6 the model is changed, applying the control to find the new  
7 load shape takes only a couple of seconds. So this can be  
8 another knob added to the tool.

9           Next slide, please.

10           So in conclusion, we've shown how SPEECH weaves  
11 together a broad catalog of behaviors, data sets, and  
12 assumptions to create insightful scenarios for policy and  
13 planning. But why is that important? We have to step back  
14 and take a look at the big picture. By design, the model has  
15 flexible data requirements and it's fast and inexpensive to  
16 run. So that makes it easy to apply the tool anywhere. This  
17 can help us bring EV modeling expertise developed here in  
18 California to planners around the world for facing the  
19 challenges of electrification.

20           Planning to support EVs is key to enabling  
21 decarbonization and we hope -- our goal for this work is to  
22 contribute to that planning, make it easier and help  
23 accelerate electrification and decrease global emissions.

24           So thank you very much for your time. Please email  
25 me, and if you want to learn more, I'm happy to discuss. And



1 thank you again for the invitation.

2 MR. ALEXANDER: Thank you so much, Siobhan. I think  
3 this is a really impactful tool that I think a lot of people  
4 will be interested to learn more about and play around with  
5 once it's released.

6 Our last presentation before moving into the  
7 moderated discussion is from Dr. Ria Kontou who is an  
8 assistant professor in the Department of Civil Environmental  
9 Engineering at the University of Illinois at Urbana-Champaign  
10 since 2019. She received her PhD in Civil Engineering  
11 focusing on Electrified Transportation Systems from the  
12 University of Florida.

13 She is a postdoctoral research associate at the  
14 Transportation and Hydrogen System Center of NREL and  
15 conducted research at the Department of City and Regional  
16 Planning at the University of North Carolina at Chapel Hill  
17 before beginning her current faculty position at Illinois.

18 Ria, whenever you're ready, please take it away.

19 MS. KONTOU: Sure, good afternoon, all. I'm very  
20 excited to join you today and discuss our research on  
21 Economics of Electric Vehicle Public Charging.

22 This talk will present our analysis that quantifies  
23 tangible direct current fast charging stations value, as well  
24 as finances, and internal rate of return estimates of fast  
25 charging providers venture in San Diego. I would like to

1 acknowledge my colleagues, Eric Wood and Matteo Muratori from  
2 the National Renewable Energy Lab, as well as Dr. Greene from  
3 the University of Tennessee at Knoxville, and Noel Crisostomo  
4 and Kadir Bedir from the California Energy Commission.

5 Next slide, please.

6 In our first project we quantify the value of public  
7 charging infrastructure to current and potential owners of  
8 plug-in electric vehicle which is essential to weighing its  
9 benefits and costs, and also predicting its impact on future  
10 sales. I would say that the focus on the value of the  
11 existence of public charging infrastructure to the consumer,  
12 apart from any charge for using it. In this sense, our  
13 estimates correspond to the economic concept of willingness  
14 to pay.

15 We develop a framework for estimating the tangible  
16 value of public electric vehicle recharging infrastructure  
17 that is a function of the consumer's vehicle electric range,  
18 charging availability and location, vehicle miles traveled,  
19 powertrain type, and income.

20 In our second project we evaluate financial viability  
21 of a high-powered fast charging stations plaza in San Diego.  
22 And we do that by estimating investors profitability indices  
23 and there internal rate of return. We shed light into ways  
24 that high capital and electricity costs can be mitigated by,  
25 for example, integrating distributed energy resources. And

1 this work is crucial for understanding challenges of  
2 sustaining events, charging network, and utilization levels,  
3 and other parameters nearby.

4 Next slide, please.

5 To quantify the tangible value of public charging  
6 infrastructure for battery electric vehicles, we rely on  
7 simulation studies that assist us with estimating functions  
8 relating with the availability of public charging  
9 infrastructure to additional enabled vehicle miles of travel.

10 The graph in the upper right corner of your screen  
11 demonstrates a quadratic relationship between charging  
12 availability and enabled annual travel mileage. Showing  
13 essentially that adding more infrastructure results in a  
14 greater share of annual miles being electrified with  
15 diminishing returns. Simulation studies provide estimates of  
16 the degree that public charging can enable plug-in hybrid  
17 electric vehicles to use more electricity in lieu of  
18 gasoline.

19 We turn to econometric analysis to estimate the value  
20 of enabled annual miles. And the figure on your lower right-  
21 hand side shows an illustration of an equation derived from  
22 our study demonstrating the effect of charging availability  
23 and electric driving range to the willingness to pay for  
24 charging infrastructure as it's shown in the axis.

25 Next slide, please.

1           Willingness to pay for public charging, which is  
2 primarily Level 2 for a plug-in hybrid electric vehicle, is  
3 the present value of energy savings from additional miles  
4 being operated in charge-depleting mode, which allows more  
5 electricity to be used instead of gasoline. When it comes to  
6 willingness to pay for public chargers for a battery electric  
7 vehicles interregional travel, that is a function of enabled  
8 electrified miles multiplied by their value as well as the  
9 value of time denoting the additional time needed to access a  
10 charger. That is actually varying based on the driver's  
11 income. Note that that that the denser the station's  
12 network, the less the time it takes to access a charging port  
13 and the greater the value to the consumer.

14           Last, a willingness to pay for intercity travel  
15 enabled by installing fast chargers along highway routes is  
16 estimated similar to the interregional present value, but by  
17 discounting it by the time cost of recharging.

18           Next slide, please.

19           Conducting the California specific case study, we  
20 find that battery electric vehicle drivers' willingness to  
21 pay for direct current fast charging is actually greater for  
22 intercity travel compared to interregional travel when the  
23 electric driving range of the vehicle is less than 200 miles.  
24 And this is under the assumption that the charging station  
25 availability of select Californian levels in 2018. When

1 charging availability is less than 20 percent, in the right-  
2 hand slide, you can see that for a battery electric vehicle  
3 is 150 miles and double, willingness to pay falls below  
4 2,000.

5 The tangible value of direct current cost charging  
6 increases as charging availability increases with diminishing  
7 returns of both intra and interregional travel. The  
8 magnitude of the value of existing infrastructure for  
9 interregional travel is about 6,000 when the battery electric  
10 vehicle range falls below 100 miles. We observed that public  
11 stations can contribute to enhancing the utility of battery  
12 electric vehicles to drivers and to potentially lead to  
13 increasing electric vehicle sales as well as curb range  
14 anxiety.

15 Next slide, please.

16 In the second project that we worked on with  
17 California Energy Commission, we conduct High-Power Fast  
18 Chargers Financial Analysis for a specific San Diego site.  
19 We review the economic prosperity of certain endeavor that is  
20 important to sustain adequate infrastructure availability  
21 confidence and support electrified operations. Now in this  
22 case, we estimate profitability indices and break-even  
23 electricity prices under several scenarios of a direct  
24 current fast charging station configuration. For  
25 combinations of different port power levels, number of plugs

1 per station, energy storage, and for the whole site location.  
2 So we have a lot of scenarios.

3           Geographic Information Systems Analysis is used in  
4 this case to determine the exact location of your charging  
5 station. Accounting for criteria such as the location of  
6 increasing chargers, land use characteristics, parking spots  
7 availability, proximity to substations, and property taxes.  
8 Now the determination of the charger's percentage of  
9 utilization using the years of analysis, is achieved through  
10 NREL's model EVI-Pro that Eric already discussed.

11           Besides the energy storage and for the voltage carry  
12 through to NREL modeling frameworks and external resources  
13 were consolidated to determine average values for capital  
14 installation costs of infrastructure. Including data from  
15 utility Pacific Gas and Electric and now also San Diego Gas  
16 and Electric public grid integration type data are used to  
17 estimate the levelized cost of electricity for the  
18 utilization profile specified.

19           Finally, Electric Financial Analysis Simulation Model  
20 is adopted from NREL's Hydrogen 1 in order to calculate  
21 profitability in this case for all the different scenarios  
22 that we examined.

23           Next slide, please.

24           The publicly available direct current fast charging  
25 plaza selected is located in the city of San Diego in a

1 shopping center close to downtown with all constraints  
2 specified satisfied. The scenarios are multiple and are  
3 presented in table on top. Please feel free to reach out to  
4 me if you have any questions regarding these.

5 Next slide, please.

6 The results of our analysis demonstrate that as high-  
7 power fast charging load increases with the increased number  
8 of plugs, the break-even price of electricity actually  
9 decreases. So the price that the consumer would have to face  
10 when they recharge. Energy storage and photovoltaic  
11 operational savings seems these reduce the amount of  
12 electricity drawn from the grid can justify the high capital  
13 installation cost.

14 When we look into the best-case scenario, it is  
15 evident that energy storage location is actually beneficial  
16 since it reduces the impact of critical peak pricing that  
17 characterizes the type of San Diego Gas and Electric.  
18 Increasingly, the number of charging ports result in higher  
19 load level which justify the PI investment and end up in  
20 approximately 10 to 12 percent electricity break-even price  
21 reduction.

22 Next slide, please.

23 We conclude our analysis by pointing out that the  
24 willingness to pay function for charging infrastructure helps  
25 us estimate the driver surplus from the installation of

1 additional charging infrastructure. And we are also gaining  
2 California specific insight on the value of charging. For  
3 example, to a purchaser of a new battery electric vehicle  
4 with 100 miles range, home charging, and located in  
5 Sacramento, urban public fast chargers worth approximately  
6 \$1.5 thousand for interregional travel. For intercity travel  
7 with highway fast chargers, these are worth more than 6.5  
8 thousand along interstate routes.

9 Our financial analysis of a plaza in San Diego for  
10 direct current fast charging shows that utilization volume is  
11 crucial in achieving financial viability. And that energy  
12 storage and solar panels colocation brings down operational  
13 costs as the driver demands grow. Electricity break-even  
14 prices range from 36 to 50 cents per kilowatt hour which are  
15 not so different from subscription rates offered today by  
16 existing network providers.

17 Next slide, please.

18 I think, I think that's pretty much it. So I would  
19 like to thank you for your attention, and I look forward to a  
20 fruitful discussion.

21 Thank you.

22 MR. ALEXANDER: Thank you so much, Ria.

23 That's -- it's definitely interesting to have the  
24 financial perspective and I'm interested to explore that more  
25 in the moderated discussion.



1           This concludes our formal presentations for the  
2 afternoon. I would like to invite Commissioner Monahan and  
3 any other members of the dais to ask any questions to our  
4 three presenters, as well as Eric, DY, and Bin from this  
5 morning if there are any lingering questions there.

6           If all of our panelists could turn on their cameras  
7 so that they're able to answer questions, that would be  
8 really great. Thanks.

9           COMMISSIONER MONAHAN: Great. Well, thanks  
10 everybody. Nice to see all your faces on the -- on the grid.

11           So I think I'll discuss sequentially with the  
12 presentations this afternoon.

13           Alan, nice to see you, again. I had a question. I  
14 mean, I was kind of shocked by the 35 percent of the energy  
15 use of public chargers goes to TNCs. Could you talk a little  
16 bit about that data? Is that California specific? Was that  
17 provided by the -- by Lyft and Uber? Like, how'd you get  
18 that data?

19           MR. JENN: No, no, actually, that is data coming from  
20 an aggregation of several charging service providers, with  
21 the exception of Tesla. So 35 percent of non-Tesla public  
22 chargers. So that data is not coming from Uber and Lyft,  
23 it's coming from, at the time, a coverage of about 1600 out  
24 of the 1800 DC fast chargers back at the, sort of end of 2018  
25 beginning of 2019. So fairly comprehensive.

1           But you should also know that there are like  
2 something like 2000 Tesla DC fast chargers. So, you know, I  
3 don't know how much those are getting utilized. We don't get  
4 any data from Tesla. But it is -- it is definitely very  
5 surprising and it's -- in that it comprises a pretty small  
6 number of vehicles that are responsible for a lot of that  
7 charging so.

8           COMMISSIONER MONAHAN: Well, you know, I -- I'm  
9 waiting to get a list on Uber or Lyft next to Tesla. So far  
10 I've not seeing that. You see that in the Netherlands, not  
11 so much here in California.

12           And maybe this is a question, maybe for Alan and Ria  
13 in terms of the analysis around the value of charging. I  
14 thought it was fascinating this idea that highway chargers  
15 are far, in terms of bonus pay, are much higher valued than  
16 urban chargers. And yet for TNC drivers, you would think it  
17 might be the opposite. I don't know, actually.

18           But have you thought, Ria, about this integration of  
19 TNC drivers, and Alan, you too, in terms of where are the  
20 chargers that would be most appropriate for those drivers?

21           MS. KONTOU: Yeah. So in our analysis, we focused  
22 primarily on personal light-duty vehicles. Right? So we --  
23 our analysis on the annual vehicle miles traveled reflect  
24 better in these numbers. Essentially reflect better, the  
25 operation so, of let's say personal users. So it would be

1 very interesting to account for the driving patterns of  
2 transportation as work companies' drivers. And also study a  
3 little bit where that concentration of charging stations that  
4 they regularly use is.

5           So I would -- I would envision that probably their  
6 patterns concentrate in downtown region so very urban, urban  
7 streets being covered there. So the intercity willingness to  
8 pay for charging would reflect better, but the value of  
9 charging for them. And we would also have to adjust a little  
10 bit in our calculation the value of offering such a service  
11 and having a battery range close to a full state of charge.  
12 Because they actually making money out of this endeavor  
13 compared to a regular driver who values more the time of  
14 driving because they want to reach a destination and conduct  
15 an activity.

16           MR. JENN: Yeah. Regarding TNCs sort of value for  
17 the infrastructure, the beauty of the way that we've sort of  
18 approached it is that we're basically saying we don't -- we  
19 don't really know, but we're going to kind of parameterize it  
20 so that we can see if someone like Ria is able to measure  
21 that and give us a sort of good estimate of how some of these  
22 values are looking in reality, we can -- we can plug that  
23 into the model. And right now, it's sort of kind of  
24 scenariorize. I don't know how to say that word. And so we  
25 can look at a whole bunch of different sensitivity for values

1 of things like, you know, how much did the electricity cost?  
2 How much they value reducing the time to drive to the charger  
3 and how much they value not spending time at the charger.  
4 Right. Having the charging event happen quickly.

5 COMMISSIONER MONAHAN: Well, and this is a bigger  
6 question that we have been wrestling with internally about  
7 how to evaluate the investments that we're making in charging  
8 infrastructure. So Ria, some of your analysis, I think in  
9 willingness to pay, gives us some good food for thought about  
10 how to -- how to value our investments in charging  
11 infrastructure.

12 And I guess there's a -- there's a two-piece  
13 question. One is, I mean, willingness to pay, it's -- is one  
14 metric. Do -- are there other metrics that you would  
15 recommend or that would help us dig a little bit deeper into  
16 the value of charging? And I ask that because, you know, I'm  
17 thinking about how there's this intangible benefit to having  
18 a robust network that even if you don't use it, and  
19 willingness to pay, presumes, if I heard you correctly, that  
20 it's based on actual the value of the charging event to time  
21 of the day for how much you're actually using them, not just  
22 that second value.

23 MS. KONTOU: That's absolutely right. Yes. So we  
24 capture only the tangible -- the tangible value based on the  
25 electrified miles that can be achieved. Right? So it would

1 be very interesting to capture intangible values with respect  
2 to visibility of charging stations and their effect on  
3 further adoption. So all these secondary facts, yeah, we  
4 need -- we need -- we need to do a more thorough analysis on  
5 that end. I think it's very valuable to get to know that.

6 In terms of our analysis, it's pretty useful because  
7 the value can be actually incorporated in a choice model, a  
8 vehicle ownership choice model. And can help us estimate in  
9 the future the number of sales of electric vehicles. So it  
10 would be, I would say, kind of straightforward to calculate  
11 the importance of the value on future investments to  
12 estimating the sales that these can produce.

13 COMMISSIONER MONAHAN: Well, and I think that's an  
14 important sort of what's the share of access to EV charging  
15 that could be attributed to the individual purchase of a --  
16 of an electric vehicle. I think that's a very important  
17 question which helps us assess, like, what's the value of  
18 charging?

19 But then they also -- this value which we discussed a  
20 little bit this morning about the used car market and the  
21 fact that, you know, right now, most people who buy a new car  
22 are rich, fairly rich and they may live in their own single  
23 family home but then they sell that car to somebody else who  
24 maybe isn't so rich and needs -- doesn't have a single family  
25 home. Can't, you know, lives in apartment building, there's

1 no charging.

2           So then all of a sudden, the value of public charging  
3 becomes higher for that -- for that used car owner. And for  
4 us in California, that's a really important aspect of all of  
5 the work we're doing is just we need to make sure this is for  
6 everyone, not just for rich people. We need to make sure  
7 that we have the charging infrastructure that's ready for  
8 that secondary use market and for people who can't afford to  
9 own single family homes.

10           So that aspect of the benefit for us, too, is really  
11 important. And I'm just, I want to make sure that I  
12 understand, Ria, that is it correct, am I saying it correctly  
13 that the willingness to pay metrics, it works really well for  
14 like that first car market buyer. It gets a little more  
15 complicated when we're talking used vehicles and, I would  
16 make sure transportation application for everyone.

17           MS. KONTOU: So that's absolutely correct. We --  
18 I -- the metric works very well for new vehicle, electric  
19 vehicle owners with home charging installation. So these are  
20 kind of building assumptions in there.

21           For used vehicle owners and multiunit dwelling  
22 residents, we didn't have the ability to capture such affects  
23 in our model, given the very limited data that we have also  
24 in this field, which is another kind of obstacle in --

25           COMMISSIONER MONAHAN: Uh-huh.

1 MS. KONTOU: -- capturing this relationship.

2 But I totally believe that this is -- this is very  
3 important in the future. And this is a future direction,  
4 it's a direction that we need to pay attention to.

5 COMMISSIONER MONAHAN: Right. I look forward to your  
6 future research in the space because we do need help on this  
7 one.

8 So, Siobhan the SPEECH, your SPEECH model looks  
9 fascinating. What -- when's it going to be available?

10 MR. POWELL: That's a great question. We're working  
11 on the publications for it now. The first publications and  
12 hope to have some version of the tool running by the end of  
13 the year is the goal.

14 COMMISSIONER MONAHAN: That's great. Well, I really  
15 appreciate the fact that you were planning to make it open  
16 source and available for everybody. And we at the Energy  
17 Commission, we're trying to figure out how to do that, how to  
18 do -- how to do that as well with a lot of our data.

19 And I fear -- I understand there's a ticking sound  
20 coming from my mic and I bet it's because I turned on my air  
21 conditioner because it got very hot in my tiny little office.  
22 Sorry about that. Is the ticking better now? Is it going  
23 away? Is it the air conditioner? Any clearer?

24 MS. POWELL: I don't hear anything.

25 COMMISSIONER MONAHAN: Okay. Well, that's good.

1           And -- oh, yeah, I was saying that we're also looking  
2 at ways to make our data more available. We're actually for  
3 the first time going to be releasing actually just simple EV  
4 sales data which before you couldn't get down to -- we had  
5 aggregated data, but not down to like a local level of giving  
6 out data, of course, hiding the privacy. Can't give out  
7 private information but working with DMV to do that. And so  
8 I appreciate the fact that you're looking at making this  
9 model open source.

10           MS. POWELL: Thank you.

11           COMMISSIONER MONAHAN: I -- and I had a question for  
12 you too around it sounds like the model is really, you're  
13 allowing people to put in different inputs. And so they can  
14 really structure the model whichever way they want. And we  
15 had a discussion also this morning about whether vehicles  
16 would be topped off in the -- in the heavy-duty space, in the  
17 heavy- and light-duty space or not and how that could have  
18 really different implications on the grid.

19           I'm wondering, are you going to be putting any  
20 constraints on that to reflect sort of where the data  
21 indicates the market is or is it really just the user input  
22 function?

23           MS. POWELL: Yeah. No, it's a great question. And  
24 as we've been thinking about how to build a tool, I mean, I  
25 think the idea is to have a base case but based on the data,



1 and then have all these parameters that can be changed. So  
2 the base case kind of suggests this is what's possible and we  
3 might even put ranges on that. But I guess you could also  
4 use it to explore sort of extreme cases. I think it could  
5 use both.

6 I don't know if that's -- yeah. So right now --

7 COMMISSIONER MONAHAN: Great.

8 MS. POWELL: -- the example popping up is one  
9 behavior you might see from some drivers, but we would have  
10 the option to tune, you know, the proportion of behaviors for  
11 each driver group. So you could say, oh, if this driver  
12 group, 60 percent of their sessions is like a topping up  
13 behavior, you could sort of tune that down and change that by  
14 hand if you don't think that that's a likely scenario.

15 COMMISSIONER MONAHAN: Yeah, it would kind of be  
16 like, do you know the GREET models at Argonne National  
17 Laboratories puts out greenhouse gas emission, blah, blah,  
18 blah for transportation. I don't even know really what it  
19 stands for, but I've used it a lot. It could be like that  
20 where there's some basic stuff but if you want to tweak with  
21 the model you can -- you can do that if it's just in like  
22 Excel or spreadsheet. I mean, it sounds like --

23 MS. POWELL: I mean, the code -- I'm sorry. Yeah, I  
24 think with the code --

25 COMMISSIONER MONAHAN: It sounds like Alan --

1 MS. POWELL: I'm sorry, go ahead.

2 COMMISSIONER MONAHAN: No, you go. I'm sorry,  
3 Siobhan. You go.

4 MS. POWELL: Oh, I was just saying with the code  
5 published, then someone could download it and change the  
6 whole thing if they wanted to. If you have different  
7 scenario with really different data and different beliefs,  
8 then like having those sort of guidelines wouldn't prevent  
9 that.

10 Sorry. Now you go.

11 COMMISSIONER MONAHAN: Yeah. Well, just what I  
12 heard, Alan, was it you? Maybe I actually getting -- am  
13 getting it incorrect about who was talking about the topping  
14 off with the vehicles. Do you have data on whether any of  
15 the TNC drivers using the public are in the topping off load  
16 just because they're always worried about like that --

17 MR. JENN: Yeah. Yeah.

18 COMMISSIONER MONAHAN: -- getting that next ride  
19 that's going to be long.

20 MR. JENN: Yeah, definitely. I actually didn't talk  
21 about that during this presentation, but I have talked and  
22 shown some stuff about that in the past. So the idea about  
23 topping off, when we look at the data and you, if I -- if I  
24 go down to the like specific vehicle, let's say it's a TNC  
25 driver who's driving a Nissan Leaf or a Chevy Bolt. I can

1 actually go in and figure out, oh how many miles are they  
2 going every day? And about 15 percent of the time, the  
3 vehicles are exceeding the full capacity of the battery range  
4 of their vehicle. Which means that during the time that they  
5 are providing the service, they literally have to go and  
6 charge. But the rest of the 85 percent, they can get by  
7 without charging their vehicle every day.

8           But when we look at the data, there's this question  
9 of are they -- are they sort of skating by and just using  
10 what they have or are they constantly charging? And we find  
11 it's definitely the latter. And it makes sense from a  
12 psychological perspective because, you know, as a Uber or  
13 Lyft driver, you know, I don't -- I don't really have control  
14 of where I'm going to be going. Right? I don't -- I don't  
15 actually even get to see the destination for any pickup that  
16 I have until I go and pick up that person.

17           And I know that the TNCs now have some settings where  
18 you can say like max range -- max range and stuff like that.  
19 But we do find, you know, it's a fairly astounding statistic,  
20 you know, the average Californian who has an electric vehicle  
21 goes to a DC fast charger, or who's able to use the DC fast  
22 charger, goes about once every two and a half to three weeks.  
23 For a TNC driver, they're going about three to four times a  
24 day. So it's a -- it's a pretty stark difference. And we do  
25 find that they are doing this whole topping off behavior.

1           COMMISSIONER MONAHAN: Yeah. Well, I mean, and I  
2 want to concentrate more on this 35 percent of all the  
3 charging system by TNC, that's maybe we'll be growing with  
4 these announcements by Lyft and Uber around transportation  
5 electrification. So.

6           All right. Well, thank you all. I'm going to -- I'm  
7 going to pop off now and we'll move to the facilitated part  
8 of the discussion.

9           MR. ALEXANDER: Thank you, Commissioner Monahan, for  
10 those questions.

11           I wanted to start off the moderated discussion with a  
12 question that ties back to my presentation this morning. So  
13 I briefly discussed the need to engage with community to  
14 inform modeling efforts and appropriately assess needs that  
15 could be successful and accepted by local residents.

16           I'm wondering how you've incorporated socioeconomic  
17 considerations to ensure the transportation electrification  
18 is acceptable for all of California's communities.

19           I'd like to start off with Eric and dive a bit deeper  
20 into the evolution of residential access that he touched upon  
21 in his presentation. I think this is a pretty important  
22 discussion and I'm hoping that we might be able to pull up  
23 that slide from Eric's presentation this morning to go --  
24 dive into that a little bit. I think it was Slide 7.

25           MR. WOOD: Yeah, thanks for the prompt there, Matt.

1           So, yeah, I think for -- for any kind of  
2 subpopulation within California, there are a number of  
3 different potential charging options that could provide them  
4 all the energy that they need.

5           You know, within EVI-Pro, we primarily simulate  
6 scenarios that rely upon home charging to try to take  
7 advantage of what we think the lowest cost and lowest --  
8 lowest electricity and lowest installation cost electricity  
9 might be. However, that's not always a solution for  
10 everyone, particularly people that are renters or living in  
11 apartment buildings.

12           It was pretty interesting for me to hear some of the  
13 conversation during Tuesday's IEPR workshop, throwing around  
14 some different stats for California on renters and residents  
15 of apartment buildings. What our team has found reviewing  
16 data from the U.S. Census and California Department of  
17 Finance is that in California, renters make up about 45  
18 percent of households, and about 30 percent of California  
19 households are individuals in apartment buildings.

20           And so maybe a little bit below what was discussed,  
21 you know, back on Tuesday of this week. And of course that  
22 number increases a little bit if you go ahead include single  
23 family attached housing like townhomes and condos with the  
24 apartments. The number actually can dip a little further,  
25 even, in some cases. So we mentioned, that, you know,

1 vehicle ownership is typically lower in multifamily housing.  
2 So if you kind of take that into account and just look at the  
3 stock of vehicles in California, it's about 20 percent of  
4 California's light-duty vehicle stock is connected or owned  
5 by the people that live in apartment buildings.

6 And so I think, you know, for all the stakeholders  
7 out there listening, we'd be happy to, you know, connect with  
8 you on a local level and share notes on the data that we've  
9 been reviewing and get feedback on some of the data and  
10 assumptions that we've made. And obviously all these values  
11 vary a lot geographically. So in more the dense urban parts  
12 of the state, we would certainly expect that the renters  
13 share and the apartment share could be above 50 percent in  
14 some cases.

15 But when we look wholistically across the state  
16 including the more rural areas, you know, we get down into  
17 that 20, 30 percent, depending on exactly what houses you're  
18 talking about and how you're doing -- doing counting.

19 I do want to be careful, though, not to lose -- lose  
20 site of the bigger picture. And I think Commissioner Monahan  
21 has laid that out well is that we want to make sure that  
22 we're developing and planning for networks that are providing  
23 equitable access to charging for all California residents,  
24 particular those without home charging. So the results that  
25 I presented this morning really look at a single scenario for

1 residential charging in the state's 2030 goal for 5 million  
2 vehicles.

3 But we've also run additional scenarios using the  
4 model that look at higher shares for residents of multiunit  
5 dwellings and renters. And that's something that we're  
6 planning to include in the write-up. And so again to the  
7 extent that folks are willing to engage with us on this  
8 topic, we'd really like bake in more local considerations  
9 into -- into the modeling that we're doing.

10 It looks like the slide got -- got pulled up there,  
11 Matt. I'm happy to talk to this if you don't think I'm  
12 dominating the clock too much here.

13 MR. ALEXANDER: I think maybe if you could really  
14 quickly explain what each of these five scenarios entail in  
15 the survey. That might help draw the distinctions here. But  
16 then I would be interested to hear other's perspectives on  
17 how they are incorporating these aspects into their work.

18 MR. WOOD: Sure. Happy to do so.

19 So Matt -- Matt kind of identified that the plot  
20 shows five different scenarios for residential charging  
21 access in California based on some of the survey work that we  
22 did.

23 You know, if we start maybe second to bottom, there's  
24 a scenario with a red line labeled, "Existing Access." So  
25 here we're asking people for, you know, the location at your

1 home where you currently park your vehicle, do you have  
2 access to electrical infrastructure at that location?

3 And that value's pretty low overall, so down on the  
4 order of 30 percent of California vehicles are currently  
5 parking, you know, where they have access to electrical  
6 infrastructure.

7 We also asked a question about 120-volt or Level 1  
8 charging where we showed the survey respondents a picture of  
9 a standard U.S. wall outlet and asked them if they thought  
10 they could charge an electric vehicle on that. And so it  
11 turns out that a pretty low percentage of respondents in our  
12 survey thought you could charge an electric vehicle on a  
13 standard U.S. wall outlet.

14 And so if we -- if we, you know, take that  
15 education discount, that takes us down to our kind of bottom  
16 scenario, where at a large market, we're below 25 percent of  
17 California vehicles with access to residential charging. And  
18 so that just identifies that there's room for education on  
19 charging technology to improve perceptions around residential  
20 access within the state.

21 So moving up from the red line to the blue line,  
22 there we're just asking people, okay, maybe for if you don't  
23 have access to electrical infrastructure where you currently  
24 park, do you think that you could install access there to  
25 electricity if you wanted to? And so that identifies what we



1 call an investment gap where folks on an individual level or  
2 if there's public support for residential investments, you  
3 know, access at residential locations could be increased, you  
4 know, maybe another, you know, 10, 20 percentage points or  
5 something like that.

6           And then the last two scenarios build on the existing  
7 access scenario and potential access scenario and look at the  
8 role that parking behavior has on access to residential  
9 charging. So maybe you live in a single family home and you  
10 do have access to a garage but it's currently full of  
11 woodworking equipment or storage or, you know, whatever else  
12 people do in garages. Right? So it wouldn't necessarily to  
13 be accessible for parking a vehicle and charging an EV.

14           And so there we're trying to quantify, you know, how  
15 much increased access to residential charging could the state  
16 see if residents were willing to modify where they're parking  
17 their vehicle both in single family homes as well as in  
18 apartment buildings. And so the education, investment, and  
19 behavior that different gaps that we're trying to highlight  
20 with this work.

21           MR. ALEXANDER: Thanks, Eric. Yeah, I think this is  
22 a pretty -- it takes a while for the impact of the figure to  
23 sink in. So thanks for kind of walking through that and  
24 highlighting the differences there.

25           I'd like to open it up to the rest of the panelists

1 and see if they have any other thoughts on how they're  
2 incorporating socioeconomic considerations. You can feel  
3 free to kind of just raise your hand or jump in if you'd  
4 like.

5 Bin, the first volunteer.

6 MR. WANG: I have two quick comments from the  
7 perspective the medium- and heavy-duty vehicles.

8 For the local residential area, I guess it's  
9 worthwhile investigating the strategy of the high-power  
10 charger placement if the high-power charger placed within the  
11 same circuit with the residential areas rather than easily  
12 lose capacity if high-power charger are placed in the  
13 parallel branch or in the upstream branch that are power  
14 quality concerns for the residents.

15 Yep, quick comments.

16 MR. ALEXANDER: Yeah, that's really important, Bin.  
17 Thanks for raising that.

18 I think the grid impacts are really, you know,  
19 something that are going to be quite dramatic as we think  
20 about this charging load.

21 And I -- this actually leads me to my next question.  
22 You know, DY's analysis on EVI-Pro RoadTrip indicated that  
23 charging demand from interregional travels with a peak load  
24 of around 90 megawatts should be accommodated by the current  
25 grid infrastructure at least in the case study in SoCal

1 Edison's territory. Eric's presentation has an appendix  
2 slide where the preliminary load profiles project a peak of  
3 3.5 gigawatts. And Bin, your presentation indicated the peak  
4 nearing 1 gigawatt.

5           So if we factor all these loads together, that, you  
6 know, is approaching or surpassing 5 gigawatts. I'm  
7 wondering if you could speak to the implications of these  
8 load impacts and what stakeholders such as policymakers,  
9 utilities, local entities, and electric vehicle service  
10 providers can do to avoid negative outcomes and maximize the  
11 benefits of potential electrification on the grid.

12           Yeah, Bin, go ahead.

13           MR. WANG: Thanks, Matt, this is a great question.

14           In terms of a load profile for the medium- and heavy-  
15 duty vehicles, I think besides low peak and timing, there are  
16 a couple of other dimensions we should think about with, you  
17 know, the ramp up rate for the -- for the high medium- and  
18 heavy-duty chargers because usually they are at high-power  
19 rating than the, you know, regular residential chargers.

20           You know for -- talking about the ballpark of  
21 megawatt level, you know, presumptively it will be equivalent  
22 to hundreds of single family homes. I guess most of the  
23 circuits interstate not ready for this, you know,  
24 instantaneous load happening in, you know, less than one  
25 minute. So I think we should have some kind of investigation

1 to inform facility planners, you know, to develop some kind  
2 of monitoring system so that they are situational aware of  
3 what type of chargers will be in operation in the next couple  
4 minutes and how much load it will draw from the circuit.

5           Also, you know, if we take a look at the low profiles  
6 at different counties from medium- and heavy-duty vehicles.  
7 Even though the peak load for Los Angeles County can be as  
8 high as 90 megawatts, the low peak for the Butte County in  
9 the rural area is like between 6 and 7 megawatts. But the  
10 problem is, you know, L.A. County in the urban area may have  
11 more circuits available than the rural area.

12           So the problem could possibly be worse in the open  
13 area because, you know, the residents are sharing the, you  
14 know, a limited number of circuits. If one of the circuit,  
15 you know, went offline, it will cause a lot of more impact on  
16 the residents. You know, those are the concerns I have for  
17 the ramping rate of the low profile circuit distributions.

18           MR. WOOD: Yeah. And then from the light-duty  
19 perspective, I'll just point out to folks that the EVI-Pro 1  
20 and EVI-Pro 2 aggregate statewide profiles have been brought  
21 up on the screen here.

22           I really just want to emphasize for folks that these  
23 should probably be thought of as worst-case scenarios as  
24 we're not attempting to simulate any load flexibility in  
25 these scenarios. So the way that the simulations are run,

1 when an individual arrives at a location, where they're going  
2 to charge, they immediately begin to draw power kind of at  
3 full speed.

4 We know, you know, from field studies and simulation  
5 both that there is a lot of flexibility in both workplace  
6 charging loads and residential charging loads that could be  
7 exercised to try to improve the grid integration kind of case  
8 for EVs.

9 I also kind of like to think about, you know, this  
10 grid integration problem in a couple of different levels.  
11 You know, thinking about it from a bulk system generation  
12 level as well as from a distribution level which I think was  
13 kind of the emphasis that Bin was just providing.

14 You know, I know Alan's done a lot of work at the  
15 bulk system level that I understand suggests that there's a  
16 lot of generation capacity available for providing  
17 electricity for charging many, many electric vehicles in  
18 California and across the U.S. as well.

19 It seems that the bottleneck really comes, you know,  
20 more at a local level or a distribution level where you're  
21 starting to overload local circuits either through  
22 installation of, you know, fast charging plazas or  
23 residential neighborhoods where multiple, you know,  
24 homeowners have purchased Teslas and are all arriving home at  
25 the same time of day and charging at the same time.

1           And so I think that, you know, there's potential for  
2 load flexibility to be a resource at the distribution level  
3 as well certainly for residential and workplace. You know,  
4 there was the idea from this morning about the EV happy hour  
5 where, you know, all the vehicles could be potentially  
6 charging midday and help soak up some of the solar that's  
7 being curtailed in California currently.

8           Yeah, I think that's a really attractive idea. One  
9 thing just to kind of point out in that conversation is that,  
10 you know, that electrical access in the EV happy hour has to  
11 be facilitated through infrastructure where the vehicles are  
12 located during the day when the sun is shining. So if that's  
13 at workplaces, that means much more aggressive workplace  
14 infrastructure scenarios than what we've simulated either in  
15 EVI-Pro 1 or 2. And so some research into cost benefit, you  
16 know, absorbing that curtailed solar versus the  
17 infrastructure cost of workplace charging I think could be a  
18 really interesting area.

19           MR. ALEXANDER: Totally agree, Eric. Yeah, that's  
20 really interesting to consider.

21           Siobhan, I was also wondering if you could provide  
22 some perspective on this given your work in exploring the  
23 flexibility of load profiles. You highlighted in your  
24 presentation, you know, the ability to turn these knobs and  
25 see how profiles change. And your last slide showed kind of

1 the smart charging potential to flatten out the curve.

2 Have you found other types of mechanisms or knobs  
3 that are particularly impactful in mitigating those types of  
4 load curves whether it's ramping or just high demands in  
5 other mechanisms?

6 MS. POWELL: In terms of knobs from this model, I  
7 think it might be too early to say. Although I can say that  
8 changing the -- turning those knobs really has a big impact  
9 on the load shape. So shifting some drivers toward  
10 workplaces Eric was saying would have a big impact.

11 I can speak a little bit, actually, to the sort of  
12 smaller scale grid impact from shifting discussed. For as a  
13 workplace charging case in particular, I mentioned SCRIPT but  
14 at SLAC we also have another project, an EPIC funded project  
15 called Divine where we recently looked at the impact of  
16 workplace charging on transformers. And we found that  
17 controlled charging can really help mitigate that impact,  
18 especially when you have a rate structure that has say a  
19 demand charge or something to try to minimize the peak. And  
20 then a workplace that doing controlled charging  
21 (indiscernible) just to minimize the rate schedule actually  
22 aligns with protecting the transformer.

23 So I think there's lots of ways that control can be  
24 used to mitigate the impact and it's one of the knobs. But  
25 as you mentioned, there are other things that can help with

1 the grid impact as well.

2 MR. ALEXANDER: Got it. Thank you, Siobhan.

3 Do any other panelists have thoughts on this before  
4 switching the subject to a different question?

5 Okay. I don't see any hands raised.

6 So for this next question I want to dig in to the  
7 public DC fast charging infrastructure. So this is going to  
8 be for Ria, and then DY and then Alan. So I'm going to try  
9 to connect the thread here.

10 Ria, your quantifying tangible value where it  
11 highlighted the significant willingness to pay for DC fast  
12 charger to enable interregional travel, as Commissioner  
13 Monahan noted as well, and your financial analysis looked at  
14 the business case for these stations.

15 I was wondering if you could discuss the business  
16 case stations that are primarily dedicated to interregional  
17 travel, especially when we consider stations that may only  
18 have a few plugs in more remote regions as DY's results from  
19 EVI-Pro RoadTrip indicates. Your analysis looks kind of at  
20 12, 24, 48 plugs. I'm wondering about, you know, what about  
21 stations that only have two, three, or four plugs for those  
22 types of use cases? Is there kind of a tradeoff there of the  
23 size of the station and what the business case is for those?

24 MS. KONTOU: Sure. That's a good question. A dense  
25 network of highway fast chargers, we found that it's worth



1 than 6.5 thousand dollars along intercity routes. But at the  
2 first same time, we know that stations in remote regions that  
3 have fewer ports and low utilizations are not as profitable  
4 as bigger ones because the case right now.

5 It is not only important for us to consider  
6 encouraging further utilization but also encourage fleet  
7 operations to electrify their fleet and have appropriate  
8 electricity charging without demand chargers as well as  
9 depending on the side consider the effect of the BER  
10 distributed energy sources in lowering operational costs for  
11 the sites.

12 So there is always a tradeoff between utilization and  
13 high capital costs. Right? And it's going to be important  
14 in this first year of market growth to find ways to alleviate  
15 the difficulties in the finances of the stations of that  
16 time.

17 MR. ALEXANDER: Got it. Thank you. To expand a  
18 little bit, you also noted how the wiliness to pay is greater  
19 for when you're adding stations that are closer in proximity  
20 together that drivers don't have to travel as far. But then  
21 the business case that you were just mentioning worsens when  
22 you have these smaller stations that don't have this high  
23 utilization.

24 So I want to try connecting to DY here as well, but  
25 what do you think about the tradeoff between many stations

1 kind of along these rural routes that may alleviate range  
2 anxiety and have a high willingness to pay but then have the  
3 not optimal business case.

4 MS. KOUNTOU: Yeah, exactly. We envision a network  
5 of stations, right? So provide there, I would assume that  
6 their business model is investing in locations of high demand  
7 but also in order to make sure that they provide stations  
8 that mitigate range anxiety and they help sort of an adoption  
9 of electric vehicles, they would have these remote stations.

10 So overall, and I don't know if we look into a  
11 specific business case, right, a specific site, but it's  
12 important to look into the total network and understand the  
13 tradeoffs there because we would expect a lot of demand  
14 reliability in stations that are busy which might be  
15 beneficial compared to stations that are outside of our  
16 normal demand hot spots that would be like that.

17 MR. ALEXANDER: Got it. Thank you.

18 And then DY, I was wondering if you could talk a  
19 little bit about the sensitivity in EVI-Pro RoadTrip to kind  
20 of separate anxiety consideration and how the fluctuation in  
21 station size and plug counts can change based on kind of the  
22 driver's -- that last interval of, you know, needing certain  
23 numbers of miles to be able to get to a station.

24 Can you speak to that sensitivity a little bit?

25 MR. LEE: Yeah, for sure. I'm not sure if you can

1 pull up a slide that I had in my presentation in the morning.

2 MR. ALEXANDER: Yeah, what slide are you referring  
3 to?

4 MR. LEE: You can go to the very last slide in the  
5 appendix, so Slide Number 49.

6 MR. ALEXANDER: Okay. Hopefully we'll have that up  
7 shortly.

8 MR. LEE: Okay. So we can speak -- so in terms of  
9 the baseline scenario -- yeah, right here. So the first one  
10 is the baseline scenario that I presented in the morning.  
11 So this is baseline of grid EV adoptions scenario in 2030 and  
12 time penalty minimization charging behavior points to the  
13 number of plugs required to enable electrified road trips.  
14 The -- I expected to require at least 3,000 plugs by 2030.  
15 This is lower bound, so upper bound might be 12,000 plugs  
16 across the state.

17 And we -- we did some study analysis incorporating a  
18 wide variety of scenarios including different EV interruption  
19 scenario. The lower adoption in the second row and then  
20 different type behavior which is always popping up.

21 So as you can see, different type of behavior leads  
22 to very different number of plugs required for electrified  
23 road trips. And in terms of range entirety, it turns out  
24 that the growing electric vehicles need larger batteries  
25 which means longer range to make a big difference in terms of

1 the number of plugs required for electrified road trips.

2 That's what you see in the number rural 4. And then  
3 for another range in there issue, which is related to  
4 people's comfort from the point where they realize they need  
5 to charge during the road trip and then the distance between  
6 that point to the station. So if you consider that distance  
7 as two miles as you can see in the middle both for two miles,  
8 the number of plugs will go up significantly.

9 And then if people have more confidence in terms of  
10 the distance they can travel between the points where they're  
11 realizing the charge to the charging stations, in this case  
12 we have ten miles, the number of plugs go down. So that's  
13 why we see in terms of stabilizing from the number of plugs  
14 to point.

15 And then obviously the largest impact for sensitivity  
16 case we see in this chart is the temperature. So if you  
17 assume that the entire state of California experiences 30  
18 Fahrenheit degrees which is up almost 0 centigrade, the  
19 number of plugs doubles from 3,000 to about 5,000, which is  
20 hypothetically. But the temperature can play a role in terms  
21 of number of plugs and network size. But this is just a  
22 number of plugs so in terms of the station size, if we can go  
23 back to Slide Number 7.

24 So for the number of plugs don't directly influence  
25 the number of stations. So I don't -- so from the results we

1 got from the road rip simulation, so as you can see -- yeah,  
2 thank you -- you can see on the left side the number of  
3 stations from directly -- is not directly proportional to the  
4 number of plugs if you look at the 2030 scenario lower, upper  
5 difference. So the number of plugs goes up to 11,000 from  
6 about 3,000. But the number of stations only go up to 1600  
7 from 1,000.

8           And then as Matt already mentioned, on the right side  
9 of the map, the stations along the interstate highway  
10 connecting L.A. to Sacramento and San Francisco, stations  
11 along those interstate highways, they have huge federal  
12 volume going through those stations. So the stations,  
13 they're going to relatively larger having like the ten plug  
14 per station. But most of the stations in our simulation  
15 which is the northern part of California and eastern part of  
16 California, those stations actually have only a couple of  
17 plugs per station.

18           So I think the financial aspect that we discussed can  
19 be very meaningful and helpful in deploying stations there  
20 because they are relatively very small.

21           Hope this answers your question, Matt.

22           MR. ALEXANDER: Yeah. Thanks, DY. I think, you  
23 know, this really highlights the network design idea. And,  
24 you know, how -- how do we factor in the business cases, the  
25 size of stations, how far apart to place them. So I think

1 it's really interesting analysis.

2           And I would encourage everybody who's listening in to  
3 take a look at DY's appendix slides. I think he has about 20  
4 to 30 additional slides that really highlight the robust  
5 analysis that he did on this slide. It's really impressive.  
6 Thanks, DY.

7           MR. LEE: Thank you.

8           MR. ALEXANDER: Alan, I wanted to quickly end with  
9 you and focus more on the intraregional infrastructure.

10           So you mentioned how the modeling or your model looks  
11 at the quantity and geographic dispersion of DC and Level 2  
12 charging as well as kind of those inflection points and  
13 tradeoffs there.

14           I was wonder if you could expand on those a bit, you  
15 know, how the different values of sites and power levels get  
16 characterized and I don't know if this starts going too into  
17 the weeds but is there a point where the model simulations  
18 kind of trigger a upgrade to a DC fast charger to a Level 2  
19 or something similar to that and how those decisions get  
20 made.

21           MR. JENN: Yeah. I think that's -- in terms of the  
22 sensitivity to some of those weighing parameters that are  
23 causing the models to switch between lots of L2s or a few DC  
24 fast chargers, there's still some room to explore. I think  
25 we've left those kind of resolution of those kind of like

1 bookends so now it's kind of time to go in and look exactly  
2 where, you know, some of these inflection points are.

3 I will say, however, that in kind of exploring a lot  
4 of the results, we are finding that in the different cities,  
5 you do typically get a like super big gain in something like  
6 reducing travel time once you hit a certain number of  
7 chargers. And so that's something we want to dive in to and  
8 be able to make like a really specific recommendation and say  
9 hey, look, you're getting like marginally huge amounts of  
10 reduction in travel time to chargers for a lot of these TNC  
11 vehicles as long as you get up to, you know, X number of  
12 chargers in like San Diego, a lot of number of charges in Los  
13 Angeles and so on.

14 And so I definitely think that there are -- there are  
15 even though -- even though some of the stuff is subjective in  
16 terms of how much we're -- we're placing value into travel  
17 times and waiting times, you still get, I think, some kind of  
18 pretty large benefit to hit, you know, certain thresholds.  
19 It's just so much more cost effective to get a certain number  
20 of chargers of a certain type.

21 And again, I can't at this point speak really  
22 specifically to, you know, exactly how much we should be  
23 valuing, you know, each of these things for some operable  
24 number of chargers but I think that is kind of the direction  
25 that we want to head to in the IEPR work.

1 I think you're muted.

2 MR. ALEXANDER: Thank you. Thanks for that answer.

3 I wanted to follow up with another quick question to  
4 you tying back to the questions and discussion about TNC  
5 utilization and that 35 percent number.

6 Eric in his presentation this morning hypothesized  
7 that the variable changes in DCFC utilization could be due to  
8 the constantly changing TNC fleets. I'm wondering if you  
9 think the Clean Mile Standard or other, you know, EV adoption  
10 furthers in the next decade, do you anticipate those charging  
11 loads to be -- to flatten out and become steadier and more  
12 predictable or do you still kind of foresee TNC as a  
13 constantly evolving fleet that will be hard to predict?

14 MR. JENN: So what I would say is -- is that I'm  
15 reasonably confident that the TNC vehicles are going to be  
16 using public infrastructure to a much larger extent than  
17 privately owned EVs.

18 So that having been said, you know, there are things  
19 that could change in the future, right? A lot of -- I think  
20 a lot of that load happens to be the fact that some  
21 proportion of those TNCs were able to get charging for free.  
22 And maybe they'll shift from daytime charging to overnight  
23 charging if -- if you're starting to enforce certain types of  
24 pricing signals and so on and so forth.

25 But I still think at the end of the day, those type



1 of service vehicles are going to be using public  
2 infrastructure way more than private vehicles. And so what  
3 does that mean? So with Clean Mile Standard, I anticipate  
4 that the growth of electric vehicles on these platforms is  
5 going to be really big. And so I think that that type of  
6 growth is probably going to outstrip a lot of the demand  
7 coming from privately-owned vehicles. Because now we have  
8 some sort of regulatory certainty that a lot of these  
9 vehicles are being electrified and we know that  
10 proportionately, they're just much higher -- putting much  
11 higher stress on public infrastructure.

12 And so I think that's something that we are starting  
13 to anticipate and that we need to start to think closely  
14 these now to address and get ready for.

15 I don't think that -- I actually think that the  
16 uncertainty about electrification on these platforms is  
17 actually going down a lot because of the Clean Mile Standard.  
18 It gives us confidence that electric vehicles are going to be  
19 on that platform and right with Lyft's recent announcement  
20 that they're electrifying these vehicles, that's also just  
21 kind of pointing in the direction that hey, look, we need to  
22 get ready for this pretty big growth.

23 You know, maybe it'll flatline after 2030 because  
24 they've saturated but until then, we -- we definitely need to  
25 get infrastructure ready to support that.

1           MR. ALEXANDER: Definitely. Thanks for those  
2 thoughts, Alan.

3           So we -- we only have about five minutes left and I  
4 wanted to end with kind of a lightning round question for --  
5 for all of you.

6           A common theme throughout your analytical efforts  
7 that was discussed in some of the presentations is that the  
8 model is only as good as the data that it uses. So with that  
9 in mind, I was wondering if we could go around and thinking  
10 about the one or two types of inputs that would be at the top  
11 of your wish list to address the key gap in data to improve  
12 each of your analyses.

13           So I'd like to start out with Bin since I know the  
14 medium and heavy duty side is, you know, really on the  
15 cutting edge which unfortunately means that's also often  
16 lacking high quality data.

17           So Bin, let's start with you and then I'll say who  
18 should go next to help keep it orderly.

19           MR. WANG: Sure. Yeah, you know, as a heavy project  
20 progresses, we have received a lot of data sets from  
21 partners. However, those data sets are never enough to  
22 characterize the truck driving, parking, and charging  
23 behaviors we need in order to generate the load profile and  
24 the charging infrastructure need. Because the main reason  
25 behind that is there are so many different MSDEVs. They

1 serve for different trip purposes and for different  
2 applications, their travel behaviors are quite different.

3           It seems like a number of them are managed by  
4 proprietor organizations. So understanding that behavior is  
5 critical to quantify the flexibility in order to, you know,  
6 in the future, how can we kind of shift the load to other  
7 time windows in order to minimize impact or kind of curtail  
8 their power ratings when they are charging.

9           So in this regard, we are looking for, you know, two  
10 kinds of data set. As of now one is specific operation data  
11 that can give us the charging time preferences, for example,  
12 the fleet owner can prescribe the, you know, the vehicles to  
13 be charged at a given time and, you know, and at different  
14 power ratings. So this activity data will be very useful for  
15 us to characterize charging activities.

16           And the second type of data as we progress into the  
17 Phase 2 project is geospatial information of those charging  
18 activities. Because we want to overlay the trip with  
19 geospatial information so we can know where, you know, where  
20 to place those different levels in a map. So from this  
21 regard, our travel demand model or, you know, realistic trips  
22 will be very important as additional input to heavy probe.

23           MR. ALEXANDER: Thanks, DY -- I mean, sorry, Bin.  
24           Maybe we can go to Ria next.

25           MS. KOUTOU: Sure. Yeah. So one obstacle that we

1 stumbled upon is that it's very difficult when conducting an  
2 economical assessment or financial analysis to find data  
3 pertinent to capital and installation cost of fast charging  
4 stations or any actual level from Level 2 onward. Because  
5 these vary a lot based on time and space and we would like to  
6 be able to capture the heterogeneity.

7           Now utilities and certain companies are willing to  
8 share data with us and there is some literature out there  
9 that has certain values but it would be really helpful to  
10 have a distribution of those so that we could more accurately  
11 model them.

12           MR. ALEXANDER: Thanks, Ria. Yeah, that's really  
13 data that would be really valuable to have.

14           Siobhan, can we go to you next?

15           MS. POWELL: Sure. So I guess what I'm thinking,  
16 these are great suggestions, these would all be great data  
17 sets to have. What I'm thinking of is modeling later  
18 adopters, it's something we talked about a little bit today.  
19 Our modeling depends a lot on charging data and observed  
20 choices and preferences and access to different charging  
21 types. And I think that's one of the challenges is as you  
22 move away from residential charging, having more data about  
23 how people choose between the other options that are  
24 available to them will make the models better.

25           So over time that will improve and we'll get more of

1 that data and I think that will be really valuable.

2 MR. ALEXANDER: Thanks.

3 Can we move to Alan next?

4 MR. JENN: Yeah, sure. So I would say I think I'm  
5 very blessed with having good data sets. We get stuff  
6 directly from Uber and Lyft and so I'm not going to complain  
7 about that, I don't want them to take any of my data away.

8 I would say it would be very interesting, I think, to  
9 look at how these patterns have changed more recently. I  
10 mean, our data stretches through 2018, some 2019. But of  
11 course the coronavirus pandemic is definitely going to shake  
12 things up. And, yeah, I guess I'm not entirely sure, I don't  
13 think anyone is, about what sorts of long-term impacts those  
14 can have but at the very least we could get a sense of sort  
15 of bounding in terms of how they've affected some of the TNC  
16 platform demand and how that may ostensibly sort of downshift  
17 some of the demand projections that we're seeing from the  
18 models that we're projecting out to 2030.

19 MR. ALEXANDER: Great. Thanks.

20 And then lastly, can we go to Eric and then DY?

21 MR. WOOD: Sure. As we go farther down the list, all  
22 the -- all the good answers get taken so I have to get more  
23 creative.

24 You know, I think -- I'm going to piggyback a little  
25 bit on Alan and say that, you know, the kind of commercial

1 probe data that -- that companies like, you know, Google,  
2 Apple have had access to track mobility in real time is  
3 something that could be really informative for the kind of  
4 work that we do.

5 I know there's a few different vendors for that kind  
6 of data but, you know, thinking about some of the behavioral  
7 responses to COVID that may or may not stick in the long  
8 term, having observability on those trends I think would be  
9 really informative for the kind of stuff we're doing with  
10 EVI-Pro. You know, thinking about how many, you know,  
11 working individuals are going to continue or return to  
12 commuting on a regular basis of work from home would persist  
13 beyond the, you know, the pandemic itself even say like in a  
14 post-vaccine world.

15 I'll step on DY's toes a little bit and say, you  
16 know, mode shift from air to long distance auto is another  
17 potentially really interesting shift that you might  
18 hypothesize as resulting from the pandemic. And so that kind  
19 of cellular GPS data I think could be really insightful.

20 MR. ALEXANDER: Awesome. Thank you.

21 And then last, but not least, DY.

22 MR. LEE: Yeah, I think that's great question.

23 I would just reiterate what I said during my  
24 presentation. I think to improve the model in the real-  
25 world. I think we really need high resolution reliable data

1 for characterizing driving and charging behaviors. And I  
2 like to echo what Alan said that we also need to look at  
3 longitudinal evolution of these evolving market of charging  
4 stations and electric vehicles.

5           And then I also would like to emphasize that we --  
6 most of our models and projects are looking at station design  
7 and we really don't know what's happening in real-world in  
8 terms of how companies design their stations or how they  
9 locate their stations strategically. Most of those  
10 information might be proprietary or private and not  
11 accessible to us, but that could be one of the things that I  
12 hope to get down the road.

13           MR. ALEXANDER: Thank you, DY.

14           So I believe that wraps up my time for questions with  
15 all of you. I think this was a really great discussion and  
16 an amazing set of presentations today that really highlight  
17 the cutting edge work that all of you are doing and helping  
18 us, you know, assess the needs that we will require to get to  
19 our 2030 goals.

20           So I'd like to turn it over now to Jonathan to read  
21 any questions that have come up in the Q&A. But thank you  
22 again for your time and presentations today.

23           MR. BOBADILLA: All right. Thank you, Matt.

24           UNKNOWN SPEAKER: Thanks for leading the discussion,  
25 Matt.

1 MR. BOBADILLA: And this question is directed to Ria.

2 In addition to operating costs, what is the break-  
3 even point in years for the EVSC provider when including the  
4 capital infrastructure cost such as equipment, electrical  
5 upgrades, and installation costs for high-use locations?

6 MS. KOUTOU: Sure. So we do the analysis in the ten-  
7 year standpoint, looking ahead. Right? So in order to  
8 calculate the finances over time, we look into the next ten  
9 years starting from 2018 and making assumptions on the years  
10 onward because this analysis was completed at that time  
11 frame.

12 It would be interesting to look into this tipping  
13 point. I would -- I would need to dive a little bit into my  
14 files in order to find that. But the assumption was that as  
15 we were moving to bigger and bigger stations with more ports,  
16 this will be facilitated there so that they can deal with the  
17 bigger and bigger demand.

18 So it was kind of -- the growth of demand was  
19 analogous to the growth of the station. And this is where  
20 we've seen operational compared to capital tradeoffs. For  
21 the smaller stations, this wasn't the case upfront but we --  
22 this was based on the assumptions that we made. So I  
23 would -- yeah, I could get back to you with a little bit more  
24 of looking into my files for that.

25 MR. BOBADILLA: All right. Thank you, Ria.



1           And with that, I'll give it back to Heather.

2           MS. RAITT: All right. Thank you, Matt. And thank  
3 you, panelists, so much for your time and expertise today.

4           So we'll now move on to public comments. And so if  
5 you are online using Zoom, you can go ahead and press the  
6 raise hand icon if you are interested in making comments.  
7 And press star 9 if you're on the phone. And we ask that one  
8 person per organization comment -- or not more than one  
9 person.

10           And we have Rosemary Avalos from the Energy  
11 Commission's Public Advisor Office to host the public comment  
12 portion.

13           So go ahead, Rosemary. Thank you.

14           MS. AVALOS: Thank you, Heather. At this point, I  
15 don't see any raised hands. So again, for those on the phone  
16 a reminder to hit star 9 in order to raise your hand if you'd  
17 like to make a comment.

18           Leave it open for a few more seconds to see if anyone  
19 would like to provide comments.

20           Okay. Seeing there are no raised hands, I'll pass  
21 the meeting over to Commissioner Monahan.

22           COMMISSIONER MONAHAN: Well, I want to thank Matt  
23 Alexander, he did a great job organizing, facilitating these  
24 panels. And just thanks to all the panelists who are helping  
25 to inform our research. This is an ongoing project, make

1 sure that we are doing all we can to characterize the  
2 charging needs to meet our 2030 goals.

3 So just appreciate everybody's participation. And  
4 more to come as we start rolling out the actual 2021 analysis  
5 publicly.

6 So thanks, everybody, hope you have a good evening.

7 (Thereupon, the Hearing was adjourned at 4:13 p.m.)

8 --oOo--

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

**REPORTER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF,

I have hereunto set my hand this 10th day of December, 2020.



---

Jacqueline Denlinger  
AAERT CERT # 747

**TRANSCRIBER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 10th day of December, 2020.



Myra Severtson  
Certified Transcriber  
AAERT No. CET\*\*D-852