

**DOCKETED**

<b>Docket Number:</b>	20-IEPR-02
<b>Project Title:</b>	Transportation
<b>TN #:</b>	235911
<b>Document Title:</b>	Transcript of August 4, 2020 Session 2 Commissioner Workshop on Plug-in Electric Vehicle Charging Infrastructure
<b>Description:</b>	N/A
<b>Filer:</b>	Cody Goldthrite
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	12/10/2020 3:21:05 PM
<b>Docketed Date:</b>	12/10/2020

CALIFORNIA ENERGY COMMISSION

In the matter of:

2020 Integrated Energy     )  
Policy Report Update     )  
(2020 IEPR Update)     )  
\_\_\_\_\_     )

Docket No. 20-IEPR-02

COMMISSIONER WORKSHOP ON PLUG-IN ELECTRIC  
VEHICLES CHARGING INFRASTRUCTURE

REMOTE VIA ZOOM

SESSION 2: TUESDAY, AUGUST 4, 2020

2:30 P.M.

Reported by:

Martha Nelson

APPEARANCES

COMMISSIONERS

Patricia Monahan, 2020 IEPR Update Lead Commissioner

CEC STAFF

Heather Raitt, IEPR Program Manager

Jonathan Bobadilla

PUBLIC ADVISOR

RoseMary Avalos

MODERATOR

Tim Olson, California Energy Commission

PRESENTER

Paul Francis, KIGT

Noel Crisostomo, California Energy Commission

Micah Wofford, California Energy Commission

PUBLIC COMMENT

Lisa McGhee, GreenPower Motor Company

Stacey Reineccius, Powertree Services, Inc.

Nicholas Johnson, Orange Charger

Rajiv Shah, FreeWire Technologies

AGENDA

	<u>Page</u>
Introduction	4
Opening Remarks	5
Commissioner Monahan	
Chair Hochschild	
Commissioner McAllister	
Commissioner Douglas	
Fostering Advanced Technology to Meet Future Light-Duty Vehicle Needs Paul Francis, KIGT	8
Charging Equipment Hardware and Software Noel Crisostomo, CEC	29
EVSE Deployment and Grid Evaluation (EDGE) Tool Micah Wofford, CEC	44
Other Charging Programs to Accelerate Electric Vehicle Adoption Noel Crisostomo, CEC	61
Public Comments	87
Closing Comments	95
Adjourn	96



1 there.

2           And if you joined the meeting this  
3 morning, this afternoon will be a little bit  
4 different. We'll be having a series of  
5 presentations, rather than a panel discussion,  
6 and, unfortunately, we will not have time to take  
7 questions from the audience. As always, however,  
8 attendees do have the opportunity to provide  
9 comments on the material in today's workshop, and  
10 there'll be an opportunity for a couple of  
11 comments at the end of this, and each of the  
12 sessions.

13           So for those on Zoom on-line, click the  
14 raised hand icon to let us know you'd like to  
15 make a comment. And for those on the phone,  
16 press star nine to raise your hand, then we'll  
17 open your line during the public comment period.

18           Alternatively, written comments are welcome  
19 after the workshop, and they are due on August  
20 27<sup>th</sup>, and the notice gives you all the information  
21 you need to submit those written comments.

22           And with that I'll turn it over to  
23 Commissioner Patty Monaghan for opening remarks.

24           COMMISSIONER MONAHAN: Well, good  
25 afternoon everybody.

1           And, Heather, is there anybody else on  
2 the virtual Dais, or is it just me right now?

3           MS. RAITT: I'll double check. I think  
4 it's just you though.

5           COMMISSIONER MONAHAN: Okay, thank you.

6           Well, thanks to Heather into the whole  
7 EIPR team. I feel like in a world of COVID we've  
8 done remarkably well transitioning away from our  
9 in-person meetings in Sacramento towards this  
10 virtual format, and even finding I think some  
11 advantages to being able to meet with everybody  
12 across not just the state of California, but  
13 we've had international participants as well in  
14 IEPR process that we would have had a hard time  
15 getting in person in Sacramento. So there is a  
16 tiny little silver lining to all the challenges  
17 that we are facing.

18           So, for the rest of this series, we're  
19 going to be focusing on really deeply exploring  
20 charging infrastructure, including the charging  
21 infrastructure needs to meet California's goal of  
22 having 5,000,000 electric vehicles on the road by  
23 2030. And that this is an issue near and dear to  
24 my heart as an Energy Commissioner. The Energy  
25 Commission, as I think everyone knows, is

1 responsible for building out both electric  
2 vehicle -- battery electric vehicle charging  
3 infrastructure and hydrogen fuel cell charging --  
4 hydrogen fuel infrastructure. So, we care deeply  
5 to make sure that we are doing this right in a  
6 way that benefits all Californians.

7           So, I want to just quickly turn to the  
8 presenters today and introduce our first speaker  
9 this afternoon. It's Paul Francis, who is the  
10 CEO and Founder of KIGT, K-I-G-T, which I don't  
11 know what it stands for. So, Paul, I hope you  
12 first tell us what it stands for.

13           So KIGT manufactures smart charging  
14 stations for electric vehicles. And since  
15 starting to do it in 2009, Paul is connected  
16 several electric vehicle pilot charging projects  
17 with municipalities, including a vehicle-to-grid  
18 demonstration project at the Port of Long Beach  
19 and another at Port of Los Angeles.

20           So he most recently facilitated and  
21 instructed the first ever electric vehicle  
22 network technician training program in  
23 partnership with the Los Angeles Clean Tech  
24 Incubator. And the L.A. Clean Tech Incubator is  
25 one of the leaders across the country in terms of



1 setting very, very ambitious goal for  
2 transportation electrification in the L.A. region  
3 in advance of the Olympics that are coming up in  
4 -- what is it, 2028, is that, Paul? Something  
5 like that.

6           Anyway, I turn it over to you. I 'm going  
7 to go off video right now and pass the baton to  
8 you.

9           MR. FRANCIS: Thank you, Commissioner.  
10 I'm unsure with the Olympics with everything  
11 being postponed in Japan. I don't know the  
12 logistics of that anymore. Hopefully we get an  
13 update soon.

14           But, thank you everyone for joining  
15 amidst everything, taking the time out to be in  
16 on Zoom. I'm looking at yet another on-line  
17 presentation. We appreciate that.

18           So I KIGT just to give a little insight.  
19 It stands for Keep It Green Transit, Keep It  
20 Green Tag and Keep It Green Team.

21           And so today in the presentation we're  
22 going to discuss our mission and model of  
23 reshaping 100 years of human habit. And on the  
24 next slide, you'll see, we're going to tell you a  
25 few stories. First about our friend named

1 Preisha (phonetic). Preisha a young girl who has  
2 to do homework underneath streetlights because  
3 she has no power in her home.

4           And on the next slide you're going to see  
5 a story of a family named Stacy, who right now  
6 during shelter in place on has to work with her  
7 child when school comes back home.

8           Many of you, like myself, we have kids,  
9 and we're dealing with that currently, and how  
10 EV's can positively maybe impact that in the  
11 future.

12           And then the next we're going to ask you  
13 guys to use your imagination a little bit and  
14 discuss how billions of people will have access  
15 to EV's in the future globally, and how many of  
16 them, like on the next slide, is of our friend  
17 Eve. Right. Eve is not just a fictitious  
18 character. Eve represents the 5,000,000  
19 additional people the State of California is  
20 expecting to drive EV's over the next 10 years,  
21 right. Eve represents KIGT's customer base.  
22 When we talked about the University of Laverne  
23 parking manager, Lisa Grater (phonetic), or the  
24 VP of purchasing of the multi-family developer at  
25 Lewis Homes. And seeing Eve really as the site

1 host who has to decide, like many decision-makers  
2 in California, whether or not they're going to  
3 get charging stations and what benefits, what are  
4 the amenities, and what are some of the pain  
5 points that come with that.

6           When you're talking about multi-family,  
7 the State of California has a vast amount of  
8 people who rent. Right now we have stats that's  
9 a 55-percent of households in California are  
10 renters, and that's a large, vast majority of  
11 people were expecting as a State to adopt EV's.

12           So one thing she asked to keep in mind  
13 is, not only is she looking for an EV for  
14 herself, like many of our customers and many of  
15 yours out there who are OEM manufacturers, she  
16 has to think about those who she lives with and  
17 those that are tenants and live in the community.

18           So on the next slide you see what we've  
19 done at KIGT was created easy-to-use charging  
20 stations. This image here is at Lewis Management  
21 property at a multi-family complex in San  
22 Bernardino County.

23           In Rancho Cucamonga, it's a block away  
24 from our offices in Ontario, which happened to be  
25 a disadvantaged community. And so with that,

1 what you're seeing is -- excuse me (clearing  
2 throat), she has major issues. It's not just  
3 getting a charger. The number-one issue, as we  
4 can Harrison, we're doing some cool things -- I  
5 kind of got ahead of myself. But we're going to  
6 ask you guys to oblige and participate in a quick  
7 poll.

8           Can we do the first one about Eve,  
9 Harrison?

10           Right. So I'm going to ask everyone, 20  
11 seconds to answer. In our experience at KIGT,  
12 what's the number one issue that we're coming up  
13 with when we're talking to property managers and  
14 site homes? Is it network fees? Is it the  
15 hardware costs of the charger, the installation  
16 costs? Is it simply getting help, right, once  
17 they're installed, how do you help us? And is it  
18 just making money in the revenue?

19           About another 10 seconds, please.

20           Four, three, two, one. Close poll.

21           All right. Surprisingly enough, we're  
22 seeing that hardware install costs we often think  
23 would be the number one concern, but when we're  
24 talking to customers and doing discovery, it's  
25 actually help. It's help, and it's making it

1 easier to use for customers.

2 Please move to the next slide.

3 In our other video we have we show how --  
4 one thing we like that the State of California  
5 has done, others of our counterparts are on the  
6 fence in, is that they've made credit card swipe  
7 an onboard EMV a necessity, a mandate. And that  
8 offers the nostalgia feeling we all have from gas  
9 stations.

10 I mean, imagine a simple fact that all of  
11 us who have droven -- driven a nice vehicle in  
12 the past, if Mobil or Shell said, you have to  
13 have a network membership to fuel up and use  
14 gasoline, we wouldn't like that. Often, there  
15 would probably be some pushback. But,  
16 unfortunately, in the world of EV's, that's the  
17 case.

18 So BTC, a hardware manufacturer like  
19 KIGT, we manufacture our own hardware, we've  
20 added that component standard with our charging  
21 stations.

22 Next slide.

23 One thing that matters when you're  
24 talking about EV's and property owners, because  
25 aesthetics is important. When you're looking at

1 properties, and architects they're putting this  
2 effort to designing a beautiful California with  
3 these new multi-family developments in these new  
4 housing developments. And so charging also has  
5 to look appealing.

6           And so one thing we pay attention to and  
7 we really are concerned with -- next slide -- is  
8 the user friendliness. And with that, with the  
9 credit card swipe, and one of our key components,  
10 and we believe is smart charging we'll discuss a  
11 little bit later, we've allowed it for folks to  
12 charge for free. And we believe this is a model  
13 that can be scaled to help with the millions of  
14 EV adopters coming on-line soon.

15           Next slide.

16           Right. So when you talk about billions  
17 of people having access to EV's, we're talking  
18 about globally. Unfortunately, when you look at  
19 people who buy vehicles in the State of  
20 California and you compare them to numbers  
21 globally, about 55-percent of people say they  
22 rent. They don't -- they buy used vehicles. But  
23 yet we're expecting new automakers to have really  
24 exciting, cool EV's that go extremely far, to  
25 rely on us to have this mass adoption. Whereas a

1 lot of folks, especially in California's  
2 disadvantaged communities, are unbanked. They  
3 don't have access or the means to buy these new  
4 EV's. So what are they going to turn to? The  
5 pre-owned market.

6           Next slide, please.

7           And we believe user experience is  
8 important and that's why we really harp on free  
9 charging. To be a member of many of the  
10 networks, often you have to have a bank account.  
11 And many folks, about 7.5 people that live in  
12 poverty, of that 7.4 million -- 7.4-percent of  
13 people in California are unbanked. So how are we  
14 going to expect mass adoption when millions of  
15 people simply don't have bank accounts to join EV  
16 networks?

17           So at KIGT, we decided that free charging  
18 for those who are income eligible, those who  
19 happen to have TAP or EBT cards, can charge for  
20 free in disadvantaged communities to add  
21 incentive.

22           And -- next slide, please -- the user  
23 experience matters. Smaller smarter, faster,  
24 just like our cell phones, just like our mobile  
25 phones as you guys know, are absolutely critical.

1           Next slide.

2           And so one program we have using the  
3 rebate programs the State of California has, and  
4 the wonderful incentives the utilities have,  
5 like the IOU's, one example is the Replacement  
6 Your Ride Program.

7           We've helped customers through our  
8 program, KIGT Cares, go through the installation  
9 process, help them with the rebate, help them  
10 with the homework. Help them understand if they  
11 need an additional electrical panel, help them  
12 understand that they need a new meter, because  
13 these are many of the barriers that we're facing  
14 day to day on a grassroots level that kind of  
15 hindered the adoption.

16          In addition to that is price. So when  
17 you look at the price of hardware, when you look  
18 at the cost of installation, especially some in  
19 DAC communities, where you have detached garages  
20 and trenching, and you may not have the panel  
21 necessary, thousands of dollars. And if we're  
22 wanting millions of people in all of California  
23 to adopt EVs, we have to make it low. So we  
24 offer it that \$99 out of pocket for income-  
25 eligible families and households.



1           Next slide.

2           And one thing we're extremely mindful of  
3 is at our private projects, especially in DAC  
4 communities like the South L.A. church project  
5 with Victory Baptist, or the church project we're  
6 doing at Memorial McCarty in South L.A., our  
7 commercial charging stations, the Slim, when you  
8 talk about user experience and you talk about  
9 software, has the capability to charge portable  
10 to 220 volt charging stations.

11           At KIGT we manufacture 30 amp, 220 volt  
12 home and commercial charging station network.  
13 We've done that so it makes the pain points  
14 easier to -- for barrier of entry for everyone.

15           Next slide.

16           And for a low cost for those who wants  
17 smarts and intelligence, what we're making sure  
18 of is to do cool things like, Alexa, charge my  
19 car. Our hardware also has the capacity to  
20 throttle power in real-time, to mitigate demand  
21 response times and events, so that we can add  
22 grid resilience. And to do that we add the smart  
23 screen, so that people have that Nest feel,  
24 because a lot of families, like my mom and people  
25 like Eve who want to adopt a new EV, don't want

1 to download another app. And sometimes you lose  
2 storage. That really happens.

3 And so with Nest feel inside the home for  
4 consumer charging stations, for Eve who receives  
5 rebates for her multi-family development now  
6 through Edison's rebate programs, to install  
7 consumer charging stations at each development.

8 Now you can upgrade with the smart  
9 screen. We have intelligence without additional  
10 electrical costs, and we feel that's a very good  
11 barrier to entry to help integrate with utility  
12 and add grid resiliency cross the board.

13 Next slide.

14 And that KIGT, we're very promising. We  
15 manufacturing 100-percent in California. We do  
16 that as a reason for, to reduce costs in the  
17 Inland Empire. It's extremely important, and  
18 we're beneficial of the logistics of having  
19 Ontario International Airport with FedEx and UPS.  
20 Having hubs here so that we can transport, so  
21 that we can manufacture up to 4,000 units a month  
22 in our manufacturing facility. And with the  
23 uptick in supporting 5,000,000 of EV's, and that  
24 ratio of charging EV's, we're very hopeful that  
25 with the programs in place, that KIGT we can

1 scale in higher, especially when you talk about  
2 metal fabrication, PCB boards, painting. We do  
3 everything in Southern California along the 91  
4 Freeway, and in the Inland Empire from O.C. to  
5 San Bernardino County.

6 Next slide.

7 We do have a poll question. Here's just  
8 a quick image of our Level 2 Plus. We know  
9 charging is important to people who want to buy  
10 EV's. And our next poll question and our next  
11 slide kind of alludes to what we're doing in the  
12 future.

13 Next.

14 So our team at KIGT has designed a  
15 program, a technology that is V2G capable as  
16 well.

17 Next slide.

18 And one thing we've done at KIGT is we've  
19 offered internships to STEM growth and job  
20 development and workforce development in our  
21 communities. This is one with the high schools  
22 in 2014.

23 Next slide.

24 Additionally, this is the first ever  
25 event training. A third of these participants

1 were recently incarcerated, many of them from  
2 Southern California in the L.A. County area.

3 Next slide.

4 Here they learn how to fix charging  
5 stations. One dirty little secret we have as EV  
6 manufacturers, that 20, 30-percent of charging  
7 stations in the field are inoperable. These  
8 folks will learn 30 to 50 to \$75 an hour going  
9 out and repairing these charging stations.

10 Next slide.

11 And we're very proud to say with Lacey  
12 (phonetic) we've continued this program, showing  
13 them hands-on training. This was COHORT1.

14 And in the next slide you'll see a  
15 picture of all of us and our most recent COHORT,  
16 doing distance training, where they're learning  
17 all the skills and they're giving presentations  
18 this Friday with Lacey on demos.

19 Next slide.

20 Here's the success story of Desiree. I'm  
21 running a little bit out of time, so I'll talk  
22 about her another day.

23 Next slide, please.

24 And our most recent projects where you'll  
25 see what we're relying, on LCF credits when we're

1 looking at free charging sessions, is something  
2 we're infusing with our charge cloud software in  
3 our network, because we think free charging with  
4 the different incentive programs, with low-carbon  
5 field credits, with power thwarting capability  
6 through load shaving demand response programs,  
7 and KIGT chargers have the ability to have  
8 digital advertisements on them, because property  
9 owners like you want to earn additional money.

10           Next slide.

11           And so we talked about smart charging,  
12 one thing we've demonstrated with the State of  
13 California is -- and one of the grants we  
14 received is how we can throttle power in real  
15 time during demand response moments, so that we  
16 can add more grid resiliency. So that people can  
17 charge less, so that it will cost them less to  
18 charge there.

19           Next slide.

20           And so that during COVID moments, if you  
21 have an EV, this picture here is showing our PMO,  
22 our project manager Brandon, actually  
23 demonstrating this at UC Riverside being COVID  
24 safe.

25           Next slide.

1           We're very grateful to receive a state  
2 grant to work with UC Riverside to further  
3 develop this technology, so that we can create a  
4 price surging program around demand response,  
5 where customers can choose premium or unleaded  
6 like at the gas station. Do you want to charge a  
7 full power in real-time or less power and pay a  
8 different rate? We think that'll really help  
9 adoption and kind of skew that price point when  
10 you're talking about communities that can't  
11 afford charging.

12           Next slide.

13           And V2G, right, back to our friend  
14 Preisha. As you see in this picture, what we  
15 truly believe is that when you use your  
16 imagination, you look at the possibility of how  
17 you can charge your car and have a full tank from  
18 your home at an affordable rate, then when you  
19 can go to work and have people knowing that they  
20 can fix the car and they'll charge the car, and  
21 you still leave with a full tank, and then you  
22 move on and you get home and you go power your  
23 home, right.

24           Power your home with electricity. So you  
25 have access to Wi-Fi and access to information

1 like, Google, that help KIGT get started.

2 Next slide.

3 And we believe together, helping people  
4 have early adopt -- having -- we believe together  
5 that working with everyone in the State of  
6 California, with these incentive programs, with  
7 the state grants, technology, innovation, making  
8 it easier for people to charge, make it more  
9 affordable for those at disadvantaged  
10 communities, making it smaller so the footprint  
11 is easier to put into your home, all these things  
12 matter.

13 And one thing that you notice in this  
14 presentation, we didn't have one picture of an  
15 EV. And the reason is, to save the world is a  
16 human endeavor, not a technological window. And  
17 we really believe, as humans, we have the ability  
18 to solve this problem and reshape 100 years of  
19 human habit.

20 Thank you.

21 COMMISSIONER MONAHAN: All I can say is,  
22 wow. That was a terrific presentation, Paul. I  
23 didn't see the survey results. What are we going  
24 to show them up there?

25 MR. FRANCIS: Yeah. I didn't get to go

1 through all of them, unfortunately, but we did  
2 have some cool polls. I think it would have  
3 worked out well. I have to wrap up on that.

4           This one poll right here for V2G, back  
5 when we've done our demonstrations, we did the  
6 research. And we found out that 722 Nissan  
7 LEAF's at half capacity can actually power 1,000  
8 homes.

9           COMMISSIONER MONAHAN: That's amazing.  
10 I'm curious. I mean, KIGT is so much more than a  
11 classic electric vehicle charging company. Tell  
12 me more about how you -- your origin story and  
13 how you came to focus on making sure that  
14 everybody benefits, not just rich people from  
15 this transition?

16           MR. FRANCIS: Yeah. So always been an  
17 entrepreneur right out of college in the  
18 transportation space. Earlier in college I was  
19 with utilities during deregulation. And we  
20 realized the pain point in mobility, and energy  
21 was in disadvantaged communities and income  
22 disparity.

23           And so we initially got into the business  
24 with AC Propulsion. That's when you hear that  
25 origin story of the demo projects, with the



1 ports. And what we did with cities and San  
2 Gabriel Valley, we donated an EV and EV charging,  
3 and this was right after the recession. And what  
4 we come to find out, we can add savings, but the  
5 hardware was very expensive, and the chargers  
6 didn't do much. So that's why we decided to make  
7 a smaller, faster, more affordable charging  
8 station for the future, so we can have more mass  
9 adoption, adding more bells and whistles.

10 COMMISSIONER MONAHAN: With the free  
11 charging, how, how do you financially make that  
12 model work? Do you get support from utilities or  
13 from any state agencies?

14 MR. FRANCIS: Well, fortunately, the  
15 State has done a great job with the rebate  
16 programs. So, as a manufacturer, when we're  
17 doing projects in some communities, we have those  
18 rebates that allow us to recoup our investment,  
19 right. And then you have your low-carbon fuel  
20 credits program. You also have certain IOU's  
21 have the load shaving demand response program  
22 that allow you to earn. And because our hardware  
23 can throttle power, we can participate there as  
24 well.

25 And then on certain private property,

1 universities, you had to digital ads. So when  
2 you add all those three components, we can still  
3 earn while allowing people to charge for free.

4           COMMISSIONER MONAHAN: Wow. And if your  
5 model -- like what's your vision for the future?  
6 Are you -- is it, is the plan to stay really  
7 focused in the L.A., Southern California region,  
8 or do you have bigger plans for expansion?

9           MR. FRANCIS: Much bigger plans, of  
10 course, is all of us do. California's the, you  
11 know, tech capital. So we are lucky enough,  
12 we're also Cleantech San Diego Incubator Company.  
13 They provided a lot of value and help getting  
14 some of our grants. That's a great program also  
15 the CEC supports. And then I'm going through  
16 that track, we are connected through Elemental  
17 Excelerator. That's a program that's helped us  
18 scale past six months.

19           Fortunately, EV charging is connected to  
20 utility grade infrastructure, which is essential.  
21 And we've had our best quarter ever during the  
22 last three months, and we're going to be  
23 installing over 100 charging stations in Hawaii  
24 next year. And we have some opportunities in  
25 Indianapolis, D.C. So we're excited about what's

1 to come.

2           COMMISSIONER MONAHAN: That's great to  
3 hear. With your model are you able to apply for  
4 any of the funds that we have through CAL EVI,  
5 the California Electric Vehicle Infrastructure  
6 Project?

7           MR. FRANCIS: Yeah. So their rebate  
8 program -- as a young business, as an OEM,  
9 because we do own design, we've had to go through  
10 certain certification processes. We're on the  
11 verge of completing our Energy Star, so that we  
12 are a qualified CALeVIP Rebate Program. We're  
13 excited about that. That's coming very soon.

14           But we're also at a ETL/UL Certified. So  
15 we are an approved So Cal Edison vendor, which  
16 has helped us get some projects like you saw the  
17 Fairplex Fairgrounds, and we're under that Charge  
18 Ready Program in Edison territory. It's helping  
19 us scale.

20           There's also in LADWP, they offer those  
21 rebates as well. So we qualify, and it's helping  
22 us right now in some of those communities get  
23 work done.

24           COMMISSIONER MONAHAN: And how much do  
25 you do heavy duty -- medium to heavy duty

1 electrification as a part of your business model?

2 MR. FRANCIS: Well, so medium and heavy  
3 duty we know will be critical. But one thing  
4 we're excited about there, in the event training  
5 program, our partnering electrician did a virtual  
6 field trip for the students. He did a site where  
7 he installed Level 2 Plus charging at bus yard,  
8 school bus yard in Downtown L.A.

9 And what was encouraging was they didn't  
10 use DC Fast charging for that project.

11 Infrastructure costs a ton when you have to  
12 upgrade to that level of power. So they used  
13 Level 2 Plus, 80 amps, 19 kW.

14 So in 2021 our new Level 2 Plus model, we  
15 showed that small picture, will still be small,  
16 but it will be 80 amps, Level 2 Plus, so that  
17 those who are still manufacturing vehicles with  
18 the J1772 can still use our charger, and certain  
19 medium-duty sites don't have to upgrade power to  
20 the DCFC.

21 You're muted, Commissioner.

22 COMMISSIONER MONAHAN: My dog was barking  
23 in the background. So a common problem in COVID  
24 times.

25 Well, Paul, I just wanted to thank you

1 and really appreciate your presentation, really  
2 appreciate the inspiration. And, you know, I do  
3 think there's a lot of lessons from you're, the  
4 work that you've done to make sure that your  
5 attentive issues, that especially folks in the  
6 disadvantaged communities or low-income folks  
7 might face, and to me that's a critical aspect of  
8 transportation electrification, one we're trying  
9 to figure out how to do better on.

10           So, thanks for the, thanks for the  
11 presentation. Thanks for the inspirational  
12 speech. You're actually a, you're a really good  
13 speaker. So, better than we'd thought you'd be.  
14 You're excellent.

15           MR. FRANCIS: Thank you for the kinds  
16 words.

17           COMMISSIONER MONAHAN: So, thank you.

18           MR. FRANCIS: Thank you. Appreciate the  
19 opportunity, Commissioner, and thank you to  
20 everyone.

21           COMMISSIONER MONAHAN: Excellent.  
22 Alright, have a good rest of your day.

23           MR. FRANCIS: You, too.

24           COMMISSIONER MONAHAN: Heather, I'm going  
25 to turn it over to you to introduce the next

1 speakers.

2 MS. RAITT: Sure. So, yeah. Thank you,  
3 Paul.

4 So next speaker is Noel Crisostomo. And  
5 he is an Air Pollution Specialist in the Fields  
6 and Transportation Division at the Energy  
7 Commission.

8 And so Noel, he works tirelessly on  
9 charging infrastructure policy analysis and grid-  
10 integration technologies.

11 Go ahead. Noel.

12 MR. CRISOSTOMO: Thanks, Heather.

13 To get -- go to the next slide.

14 I work on a AB 2127 for the Fields and  
15 Transportation Division. And this first  
16 presentation will be the first of 11  
17 presentations from Energy Commission staff,  
18 agency and research collaborators during the rest  
19 of our two-day workshop.

20 My presentation covers primarily findings  
21 for charging equipment hardware and software  
22 needed to meet the widespread adoption goals for  
23 5,000,000 EV's by 2030.

24 AB 2127 was signed in 2018, but built  
25 upon a decades' worth of EV directives, including

1 Senate Bill 626 from 2009, SB 250 in 2013, that  
2 aimed to make charging widespread in EV used in  
3 California. However, no state as an island.

4           As the DOE we established a vision for  
5 global interoperability, where any EV can plug  
6 into any charger anywhere, anytime, and they're  
7 able to function without any special efforts from  
8 the user.

9           But California, however, has not achieved  
10 that goal yet. Interoperable hardware and  
11 software has wide-reaching implications of the  
12 charging networks necessary to meet EV targets.  
13 So I'll describe three examples related to  
14 connectors, smart charging and equipment  
15 management, in the context of the 2018 ZEV Action  
16 Plan has directed.

17           So the Energy Commission's developed  
18 innovative charging infrastructure deployment  
19 strategies, and 2030 infrastructure needs  
20 projections that spurred greater private  
21 investments through construction of  
22 infrastructure.

23           Next slide.

24           AB 2127 tasks the Energy Commission to  
25 consider all necessary charging infrastructure,

1 including but not limited to the existing and  
2 future chargers, the supporting hardware and  
3 software, make ready electrical equipment, and  
4 other programs to accelerate the adoption for all  
5 EV categories.

6           This afternoon my colleague Micah and I  
7 will cover these three cross-cutting  
8 infrastructure elements at the bottom of this  
9 slide, while tomorrow, my colleague, Matt, and  
10 our research teams will discuss future charging  
11 means.

12           Given the breath of the vehicle types  
13 that are undergoing electrification, as shown on  
14 the next slide, the legislature declared that  
15 EV's charging infrastructure with the ability to  
16 measure energy and remote way to communicate,  
17 could assist with managing the grid and  
18 integrating renewables.

19           First consumers could maximize their  
20 economic and carbon savings by using these smart  
21 charging technologies shown in the middle. So  
22 this is actually one of the more recent  
23 directives. Senate Bill 66 in 2009 established  
24 the Energy Commission to consult with a CPUC to  
25 ensure that EV technologies are harmonized across



1 utility service areas, shown on the left. And in  
2 January 2017, shown on the right, the Department  
3 of Energy identified that standardized, open  
4 charging systems that ensure easy access by all  
5 in a competitive and highly innovative market for  
6 critical for mass -- are critical for mass-market  
7 success.

8           On the next slide, these goals for  
9 convenience, controllable and competitive  
10 charging can be summarized by the vision for  
11 global interoperability that the Department of  
12 Energy and the European Commission's ED Smart  
13 Grid Interoperability Center described, where  
14 interoperability will provide standardized  
15 devices that are capable of functioning as  
16 intended with each other, without any special  
17 effort from the user.

18           They state that harmonized standards and  
19 regulations will create, one, interoperable cars,  
20 charging and communication networks, and, two,  
21 predictable investment requirements that are  
22 necessary to achieve scale.

23           On the next slide I'll depict how this is  
24 easier said than done, but the Energy Commission,  
25 along with its partners at the CPUC Division of

1 Measurement Standards in CARB, have already made  
2 some piece-wise progress on standards and  
3 regulations.

4 Overall, this slide depicts charging  
5 equipment hardware and software solutions. In  
6 line with the National Institute of Standards and  
7 Technologies, new Smart Grid interfaces category  
8 assessment, which states that, "a modernized grid  
9 would likely have to accommodate new types of  
10 communications interfaces, including new  
11 interfaces for new entities, interfaces between  
12 substrates -- subsystems, and interfaces for  
13 legacy systems."

14 Indeed, to realize this dismissed, high  
15 distributed energy resource architecture, open  
16 standards-based communication networks are  
17 necessary.

18 First, to enable, in orange and blue, the  
19 utility or an aggregator to remotely meter and  
20 manage grid impacts. Second, to enable, in  
21 green, a network to manage equipment, and in  
22 yellow, for networks to manage transactions  
23 amongst each other. And critically in red, a  
24 common and unique two-way communication between  
25 the supply equipment and the car, so that EV

1 charging is convenient across the state and  
2 across all use cases, whether it's smart  
3 charging, vehicle-to-grid or even wireless  
4 charging.

5           Shown on the next slide, these  
6 standardized interfaces face hurdles and require  
7 cooperation among competitors. Today drivers  
8 space of widespread sub-optimal charging  
9 experience in which they're faced with a dizzying  
10 set of options to initiate charging, ranging from  
11 presenting a key chain RFID or fobs, keeping a  
12 folder full of network apps, or can dial a phone  
13 number, or handle a credit card, if as Paul  
14 mentioned, if they are banked.

15           While credit -- while driver behaviors  
16 might change as new payments interfaces roaming  
17 requirements phase in, reliance on proprietary  
18 systems for replicating the gas station  
19 experience, could ultimately flow to be adoption.

20           Replicable simplicity is key. Where  
21 regardless of the many places you might charge,  
22 the ability to just plug in and be on your way  
23 cannot be beat. Indeed, the Tesla charging  
24 experience is simple, but is not being replicated  
25 by other OEM's. On the other hand, the commonly

1 J1772 connectors could be designed with a much  
2 simpler interface, but it is difficult to  
3 coordinate the implementations of multiple OEM  
4 and charging manufacturers.

5           Overcoming this conundrum requires  
6 instead of -- overcoming this conundrum requires  
7 instead for competing networks to cooperate upon  
8 implementing common systems to arrive at a win-  
9 win situation.

10           Coopetition is where the network's agree  
11 upon vehicle charger standards, vehicle and  
12 charger standards which would provide greater  
13 certainty for suppliers with enabling hardware,  
14 automakers and their drivers, so that everyone  
15 can plan for larger volumes that drive down  
16 costs.

17           Shown on this graph, note that the cost  
18 merely -- note that the cost graph merely offers  
19 an example of the suppliers of the Marshall  
20 transceiver, that can enable, quote, "high level  
21 communication for a trade of smart charging  
22 parameters, and is not a suggestion for specific  
23 implementation by manufacturers." But this shows  
24 how -- shows a real-life example of how scale  
25 could drive down costs.

1           Some parties assert that cooperation upon  
2 standards is anti-competitive or antithetical to  
3 innovation. But, on the contrary, as illustrated  
4 at the bottom, there are four different -- at  
5 least four to the form factors shown here with  
6 innovation surrounding the smart charge  
7 interface. These are all happening today, and  
8 will continue as the majority of automakers that  
9 are adopting vehicles with so called, "title  
10 mutation standard," start to roll out their  
11 infrastructure.

12           In the next slides, I will highlight the  
13 benefits from three interoperability efforts, and  
14 describe their knock-on effects for other  
15 infrastructure deployment strategies.

16           Standardized connectors are a critical  
17 factor in creating a convenient charging solution  
18 for customers. At the highest level, harmonizing  
19 the physical connection, for example, with the  
20 combined charging system noted here, reduces the  
21 size of needed network by maximizing the number  
22 of vehicles a connector can serve power to.

23           A 2019 research report from Massachusetts  
24 Institute of Technology has quantified that this  
25 improves consumer benefits, producers -- reduces

1 network build costs, and enables more EV sales.

2           In the IEPR Workshop in -- on charging in  
3 June, EVgo and Electrify America suggested that  
4 funding programs consider connector  
5 interoperability at the station level, rather  
6 than the individual charger level, to reduce  
7 equipment costs.

8           CEC's analysis with Pen Real (phonetic)  
9 on EBI para-road trip, which will be discussed  
10 Thursday, illustrates the importance of  
11 connector-level interoperability in managing the  
12 stations' loads.

13           Not only form, but also functional  
14 communication is key. A heavy-duty truck  
15 stakeholder's frustrations tells it all. So,  
16 interoperability is confusing. Those that have  
17 already bought some EV's and chargers buy more,  
18 and they just expect that it will all work, but  
19 they don't, because standards continuous evolve,  
20 as well as the companies that are implementing  
21 them.

22           It is critical that the State prepare and  
23 signal its support for interoperability efforts,  
24 given long lead times. Towards this effort, the  
25 Energy Commission is supporting NREL testing of a

1 high power charger for commercial vehicles,  
2 depicted on the right.

3 Next slide.

4 Standard space for smart charging is  
5 becoming more common in charging infrastructure  
6 efforts.

7 Next slide.

8 Utility programs today implement the  
9 Aggregator pathway, just like here, but have not  
10 linked the last leg of charging communication as  
11 shown in the prior slide. To correct this and --  
12 prior slide.

13 To correct this, and in alignment with  
14 the Energy Commission's proposed specifications  
15 for CALeVIP -- prior slide -- the CPUC's key  
16 framework proposes to implement the ISO 15118  
17 standard for high-level communication.

18 I appreciate work close -- working  
19 closely working with my colleagues in the Energy  
20 Division, led by Carey Cisco (phonetic), to unify  
21 and leverage our initiatives in smart charging.

22 The benefits of implementing smart  
23 charging with a common, unique and bi-directional  
24 communication between the networks, between the  
25 networks charger are clear.

1           Next slide.

2           First, automation makes participating  
3 simple for the driver, because drivers do not  
4 want to be bothered. Second, studies from  
5 Berkeley Lab, NREL, UC Berkeley, Caltech and  
6 Power Flex commonly show that drivers ask for  
7 more energy than they need sooner than their  
8 actual departure, limiting demand management  
9 potential.

10           To bring forth innovative financing  
11 models to front the value of grid services or  
12 avoid upgrades for the potential is fund chargers  
13 with these, those funds of money, is critical.  
14 It is critical to maximize flexibility with high-  
15 level communications.

16           And lastly, research shows that customers  
17 are willing to pay for the incremental equipment  
18 costs to enable smart charging. And this is  
19 shown by charging equipment, at least on the  
20 component size -- on the component side, of being  
21 first cost profitable for manufacturers that  
22 produce at volume.

23           Not only is this network's equipment  
24 useful for smart charging, but on the next slide  
25 I highlight the benefit of managing the equipment



1 itself and payments across different networks.  
2 Managing equipment and connecting networks co-  
3 requires the cooperation that I described  
4 earlier.

5           Starting at the bottom of the picture,  
6 charger-to-network communications enable real-  
7 time monitoring and the infrastructure to provide  
8 users the confidence that charging is reliable  
9 and available to them.

10           For example, the open charge point  
11 protocol can provide optionality for customers  
12 who might need to switch from providers that has  
13 gone out of business. This technology could  
14 allow for the equipment to be repaired by  
15 technicians, and then onboarded into a new  
16 network, to connect their respective clouds above  
17 -- in the middle of the page, networks are  
18 connecting bilaterally to settle driver payments.  
19 And with networks, as smart chargers more -- grow  
20 more organically, the market could find it more  
21 economically efficient to consolidate transaction  
22 handling with a hub-and-spoke model.

23           But these, too, are also challenging in  
24 practice. One manufacturer has stated, one  
25 language is needed for chargers to work with

1 different networks. And a second emphasized that  
2 these critical should be, quote, "turned into  
3 real standards and not left too open to  
4 interpretation," such that these cases are,  
5 quote, "defined exactly to which options are  
6 implemented." And the third stated bluntly, we  
7 struggle and interoperability tests.

8           Sentiments like these substantiate the  
9 needs to collaboratively debug these issues, so  
10 manufacturers can commercialize these advanced  
11 solutions to begin -- commercialize these  
12 advanced solutions.

13           To begin wrapping up on the next slide,  
14 adjoining each of these hardware and software  
15 elements is critical for the State to realize  
16 long-standing legislative directors to make  
17 charging convenient, controllable and competitive  
18 for California.

19           As we plan for more EV's, harmonizing  
20 standards to create economical solutions that fit  
21 into the diversity of California towns and cities  
22 is critical. It's also important to protect  
23 public investment and lay the groundwork for  
24 innovative financing, for example, by providing  
25 grid-integration services, that I'll describe

1 after Micah's presentation, on grid and touch  
2 planet.

3           Cooperation among competitors will be  
4 needed to create a more robust supply chain and  
5 expand a reliable self-sustaining infrastructure  
6 powered for all. So while interoperability is  
7 key to our success, on the next slide,  
8 unfortunately, the market remains fragmented.  
9 The IEPR, which has -- had focus -- the IEPR  
10 which had a focus on flexibility years ago,  
11 recommended that the Energy Commission work with  
12 the CPUC, other agencies, charging and car  
13 manufacturers to, quote, "help standardize  
14 charging equipment to better integrate electric  
15 vehicles with a grid." This was in 2017.

16           In the past three years our already ambitious  
17 clean energy and transportation targets have  
18 accelerated in scope -- accelerated and broadened  
19 in scope. However, unfortunately, despite our  
20 research on grid benefits, from Epic and EVI-Pro,  
21 consumer focus groups and equipment analysis  
22 were seemingly stuck in turtle mode on an issue  
23 that requires acceleration. The State should  
24 work toward the vision for global  
25 interoperability where charges can converse with

1 EV's that will roll off the production lines of  
2 the vast majority of automakers, so that the  
3 vehicles and the chargers working together, and  
4 not in contention, are ready to absorb the  
5 hundreds of gigawatt hours and solar and wind  
6 curtailed each month.

7           Fortunately, the Energy Commission and  
8 its partners can get back on track. First,  
9 automakers should continue the development of  
10 smart charging standards so that they can compete  
11 on an elevated, level playing field, one that  
12 simplifies charging for the mass market EB  
13 driver.

14           Second, to accept these resources in the  
15 field, we have to simplify laboratory testing  
16 without compromising safety. As I described,  
17 manufacturers dread is slow, uncollaborative and  
18 costly process to get their equipment and  
19 vehicles validated, to just charge and discharge  
20 as a smart system.

21           Third, to reciprocate these substantial  
22 efforts, California should invest in those proven  
23 chargers that are compatible with automaker  
24 technology plans to drive down costs for  
25 everyone.

1           And finally, to realize the savings,  
2 utilities should support customers where  
3 infrastructure upgrades are unavoidable, despite  
4 these integration efforts. And connecting with  
5 aggregators to lever behind the meter and  
6 ancillary services.

7           With that, I'll remaining on the slide.  
8 So thank you for your attention, and I'm happy to  
9 take questions.

10          (Pause.)

11           MS. RAITT: Commissioner Monahan, are you  
12 available? You might be muted.

13           COMMISSIONER MONAHAN: Sorry about that.  
14 I don't have any questions, but thank you, Noel.

15           MR. CRISOSTOMO: Thank you.

16           MS. RAITT: Thank you, Noel.

17           So this is Heather, I will go ahead and  
18 we'll introduce the next speaker, is Micah  
19 Wofford from the Energy Commission. And he's an  
20 Associate Energy Specialist, and is going to  
21 speak to us about EVSC development and grid --  
22 and the Grid Evaluation Tool, or EDGE Tool.

23           Go ahead. Micah. Thanks.

24           MR. WOFFORD: Thank you, Heather. Good  
25 afternoon everybody, and thank you for

1 participating in today's IEPR Workshop session.  
2 My name is Micah Wofford, and I'm an Associate  
3 Energy Specialist, as Heather said, in the  
4 Transportation, Planning and Analysis units  
5 within the Field and Transportation Division.

6           Today I'll be presenting on the EVSC  
7 Deployment and Grid Evaluation Tool, otherwise  
8 known as EDGE, and how it is connected to the  
9 overall family of analyses taking place in the  
10 CEC and through our partners.

11           Next slide please.

12           So here's an outline of the presentation.  
13 I'll start broad with some policy background and  
14 objectives to provide context. Then we will move  
15 on to talk about some of EDGE's design choices  
16 and implications.

17           Finally, we will end by highlighting a  
18 conceptual metric called the, "Equitable Smart  
19 Charging Factor," which is a specific use case  
20 that comes out of the tool. And then finally, as  
21 well, some analytical limitations.

22           Next slide., please.

23           So through Assembly Bill 2127 the CEC is  
24 tasked with assessing the charging infrastructure  
25 needed to support the target set forth by

1 Executive Order B4818, which calls for 5,000,000  
2 ZEV's on California road by 2030. Additionally,  
3 as we heard earlier today from Tiffany, SB 1000  
4 tasks the CEC with evaluating light-duty charging  
5 infrastructure to identify whether deployments,  
6 including distribution and access, is  
7 disproportionate by geography, population density  
8 and income level.

9           And finally, with ongoing AB 2127  
10 infrastructure analyses, they endeavor to  
11 quantify the number of chargers needed by type  
12 and location to reach California ZEV deployment  
13 goals.

14           Next slide, please.

15           To carry out the tasks necessary to  
16 properly plan for EV charging infrastructure, we  
17 need to -- we need an analytical process flow  
18 that generates insights and direction for the  
19 market, so we can ultimately deploy sufficient  
20 infrastructure for all.

21           As an early warning system, EDGE will  
22 help users focus deployment strategies and plan  
23 infrastructure investments to address four  
24 distinct goals, minimize and mitigate the impact  
25 of charging to the electric grid, achieve air

1 quality improvement targets, meet EV travel  
2 demands in California, especially as EV adoption  
3 rates continue to climb, and ensure the equitable  
4 deployment of EV infrastructure throughout the  
5 State.

6           These goals correspond to four unique  
7 conceptual domains of study with EDGE, grid  
8 impact, air quality, travel demand and equity  
9 considerations. The graphic on the left shows a  
10 high level cyclic process for achieving  
11 infrastructure deployment goals, and to an  
12 extent, EDGE will assist during each of these  
13 four steps.

14           Next slide, please.

15           The charger quantification results that  
16 are output from both the EVI-Pro and HEVI-Pro  
17 models will be used as the primary basis upon  
18 which data from other analytical domains will be  
19 layered. This will provide a foundation for  
20 users to view progress to infrastructure-related  
21 policy goals, strategically target deployments  
22 solutions, and focus investments.

23           Domains that I previously mentioned are  
24 separated here on this slide, as well as some of  
25 the data sources within each. EDGE uses data



1 from the investor-owned utilities integration  
2 capacity analysis maps to analyze the EV charging  
3 capacity of the regional distribution grid.

4 We are also working closely with the  
5 Energy Assessments Division staff to incorporate  
6 their GHG emission factor work into the model to  
7 assess air quality improvement strategies.

8 In terms of travel demand, EDGE utilizes  
9 AFDC charging -- or AFDC data regarding the  
10 environment of existing chargers to compare with  
11 projected needs in order to assess the statewide  
12 infrastructure gap.

13 And, finally, the Tool will also include  
14 results from ongoing SB 1000 analysis that CEC  
15 are conducting, to ensure chargers are  
16 distributed in an equitable manner.

17 I'd also like to mention that EDGE uses  
18 data from the Location Affordability Index to  
19 assess the value of smart charging solutions  
20 based on factors such as auto ownership burden  
21 and grid capacity deficit. I'll expand on this a  
22 bit more towards the end of the presentation.

23 Next slide, please.

24 This is a visualization of EDGE's overall  
25 framework. The data from the last slide, as well

1 as other sources, are input into EDGE for  
2 processing and combination. As model outputs --  
3 model outputs are then viewable using EDGE's  
4 geospatial domains as filters or lenses.

5           The table on the right lists the  
6 relationships between the domains in terms of the  
7 units of spatial resolution. The EDGE Tool  
8 notably targets the Traffic Analysis Zone, or  
9 TAZ, as the smallest unit of resolution for most  
10 domains. Units in the same color here tend to  
11 fit nicely into each other. This table provides  
12 a glimpse at an important barrier that exists  
13 within the data.

14           Although some domains have the capability  
15 of sharing spatial units, the data are generally  
16 not commutable across domains, which means it's  
17 not easy to convert between sets to view  
18 meaningful correlations. And as a result,  
19 statistical analysis of the physical  
20 characteristics of each domain is required before  
21 invoking EDGE's inherent algorithm. However,  
22 before getting into EDGE's geospatial analysis,  
23 I'd like to briefly talk about the traits which  
24 define the TAZ.

25           Next slide, please.

1           When determining the shape and size of  
2 the TAZ, one must consider some constraints.  
3 Origin and destination trip totals must be  
4 controlled. The total number of interzonal trips  
5 must be minimized, and statistical position must  
6 be relatively high.

7           Ensuring that these constraints are  
8 addressed yields similar quantities of trips  
9 simulated across TAZ regions, while also  
10 indirectly controlling a relatively -- relative  
11 statistical error. Additionally, the density of  
12 resulting TAZ regions is proportional to the  
13 number of trips generated in that area.

14           The figure on the right shows the  
15 distribution of TAZ regions in redline, within  
16 L.A. County in blue line. EDGE is currently  
17 utilizing TAZ data from the Caltrans California  
18 statewide travel demand model.

19           Next slide, please.

20           These two plots show how our targeted  
21 unit, the TAZ, relate to different levels of  
22 resolution within the same domain, as well as  
23 across domains. Regarding the travel demand  
24 domain, on the left is a histogram showing the  
25 distribution of TAZ's within counties. As stated

1 in the previous slide, TAZ's are generally sized  
2 based on the density of trips generated in their  
3 respective area. This means that counties with  
4 more TAZ's in them we'll have a higher volume of  
5 traffic and, therefore, may require a larger  
6 amounts -- larger amount of chargers to support  
7 their needs. however, this is a view into just  
8 one domain.

9           When crossing the grid in travel domains,  
10 we must allocate available capacity to the TAZ  
11 level. On the right is a preliminary plot that  
12 shows the distribution of available load in TAZ's  
13 by county within Edison's territory. It clearly  
14 shows that the majority of TAZ's here, about 48-  
15 percent or so, have zero megawatts or less  
16 available capacity to accept new load from EV  
17 charging infrastructure.

18           This highlights the need to work closely  
19 with the utilities in order to obtain a better  
20 understanding of grid operations and ways to  
21 mitigate EV charging impact.

22           Next slide, please.

23           To walk through EDGE's capacity  
24 allocation methodology, I'll show an example here  
25 where we consider three adjacent TAZ's, A, B and

1 C. As I stated earlier, EDGE is currently using  
2 distribution-grid data from the IOU's ICA maps,  
3 which assign information to specific distribution  
4 feeder circuits at the street or parcel level.

5           The black line here is a simple  
6 theoretical version of an ICA feeder circuit. As  
7 you can see, the physical design of these  
8 circuits can be complex, and so these data are  
9 not evenly distributed within TAZ boundaries, and  
10 they can sometimes span several unique zones.  
11 Therefore, in order to properly assess the  
12 available capacity within each TAZ, EDGE utilizes  
13 the TAZ boundaries as sort of a cookie cutter to  
14 slice up the ICA data.

15           Since each ICA circuit line has a unique  
16 system name associated to it, we can then assess  
17 the physical presence of each line within a TAZ  
18 boundary and assign a ratio to each new piece.  
19 The algorithm then looks at each TAZ and iterates  
20 through the cut-up line pieces inside. Then  
21 multiplies the ratio we found earlier by the load  
22 capacity of the overall line.

23           And finally, EDGE sums up the capacity on  
24 each of those pieces to produce an aggregate  
25 result assigned to each encompassing TAZ. This

1 process is captured by the formula in the top-  
2 left portion of the slide.

3           So in this example, if this black line  
4 was the only circuit that serves each of these  
5 TAZ's, then each of these TAZ's would have the  
6 megawatt capacity values assigned to them as  
7 shown on the slide, .5 megawatts, .3 and .2.

8           Next slide, please.

9           This is a view of the EDGE map currently  
10 showing ICA data allocated to the TAZ level in an  
11 area near San Bernardino. Near the top of the  
12 map is a box that shows this -- that this  
13 particular tasks has 51 megawatts of available  
14 capacity. In this example, several distribution  
15 and fulfillment centers lie within this TAZ, as  
16 shown within the superimposed satellite map  
17 screenshot in the center.

18           In -- let's see. It should be noted that  
19 EDGE is not intended to be a micro-siting tool,  
20 but instead, this situation is a good example of  
21 what EDGE can do in terms of finding locations  
22 that are suitable for planned additional loads  
23 and allowing users to focus their deployment  
24 strategies.

25           During this session's next presentation,

1 Noel Crisostomo will discuss how new policies can  
2 assist in reducing grid capacity impact from  
3 rapid electrification efforts, such as how Amazon  
4 is electrifying its distribution center fleets  
5 and using Rivian trucks.

6           In this example, 51 megawatts of the  
7 available capacity to absorb new charging loads,  
8 so anything planned beyond that would require  
9 some sort of mitigation solution or distribution-  
10 grid upgrade.

11           Using the theoretical approach from the  
12 last example, we can apply -- I'm sorry. Next  
13 slide, please. Thank you.

14           Using the theoretical approach from the  
15 last example, we can apply a similar methodology  
16 to address the barriers present within both the  
17 equity and grid domains. In this use case, we  
18 are particularly interested in understanding the  
19 value of smart charging and VGI in communities  
20 that are most economically vulnerable.

21           The equitable smart charging factor, as  
22 I'm calling it, utilizes data from both of the  
23 IOU's ICA maps and the Location Affordability  
24 Index to create a juxtaposition of grid  
25 negativity and auto ownership burden values

1 respectively. It uses several factors from both  
2 data sets to quantify or score the value of  
3 charging -- smart charging solutions within  
4 communities with high economic burden. This  
5 concept, though, is still in development, but it  
6 can be used to reduce auto ownership burden in  
7 the context of grid-constrained areas, ultimately  
8 assisting and targeting equitable VGI projects  
9 as a direct compliment to TERPA.

10           Next slide, please.

11           To highlight some of the limitations of  
12 EDGE, these limitations primarily lie in the  
13 integrity of the ingested data. The ICA data has  
14 been an issue in terms of spatial discontinuities  
15 and validation frameworks.

16           The image on the right is a good example  
17 of the discontinuity problem. This is a screen  
18 capture of the SCE ICA map, showing lots of  
19 interesting gaps between lines that should  
20 otherwise be connected. This makes the unique  
21 circuit identification and allocation a bit more  
22 complex.

23           Another limitation is that the Location  
24 Affordability Index has good information from  
25 various sources, but most of them are a bit



1 dated, such as the longitudinal employer  
2 household dynamic data from 2014, vehicle-mile-  
3 traveled data from the 2013 to 2015 range, and  
4 also the American Community Survey stats from a  
5 five-year period ending in 2016. So obtaining  
6 more relevant data is also one of the main  
7 inhibitors.

8           EDGE is only as good as the data going  
9 into it. So finding and implementing richer and  
10 more robust data sets is critical to providing  
11 more accurate and informative results.

12           And finally, EDGE's algorithm itself is  
13 still in development and requires more  
14 streamlining as more data is integrated within  
15 it. The Tool will continue to evolve as more  
16 relationships and connections are established in  
17 the data sets across each of the analytical  
18 domains.

19           Next slide, please.

20           And so to continue the development  
21 process of EDGE and recurrently improve upon its  
22 design, we welcome stakeholder input on a number  
23 of items. What additional data sources exist  
24 that could inform travel volumes between origins  
25 and destinations or provide grid-capacity

1 estimation and validation? How can we improve  
2 the allocation algorithm within EDGE? We welcome  
3 feedback also on the types of use cases that we  
4 are planning to incorporate. These include smart  
5 charging, air quality attainment, carbon emission  
6 intensity and equitable infrastructure  
7 deployments. As this Tool will eventually be  
8 made publicly available, how can the user  
9 interface be designed in such a way that would be  
10 most user friendly?

11           Also, the utility data going into EDGE is  
12 critical on allowing accurate analysis of  
13 regional grid conditions, and the ability to host  
14 expected new EV charging load. Therefore, how  
15 can the CEC work with the utilities to ensure  
16 that their data are easily accessible and  
17 accurate? How can we secure that grid data going  
18 into the Tool?

19           Next slide, please.

20           So this concludes my presentation. Thank  
21 you very much for listening. Please feel free to  
22 reach out to me for further discussion using my  
23 contact information displayed on the screen. And  
24 I'm also happy to take questions now.

25           Thank you very much.

1                   COMMISSIONER MONAHAN: Thanks, Micah.  
2 I've just been in contact with Heather about  
3 whether we can get Q&A from the audience, and  
4 sadly we can't.

5                   I'm curious, you know, for the folks  
6 listening in, what -- you list some questions  
7 and, you know, your contact information, but we  
8 have a pretty quick turnaround schedule for AB  
9 2127. And I'm curious, just so that folks  
10 listening in can provide the most helpful  
11 feedback for that process, what would you  
12 encourage in terms of timing and substance for  
13 comments?

14                  MR. WOFFORD: So, in terms of timing,  
15 EDGE is pretty contingent on the preliminary  
16 results coming out of EVI-Pro analysis. So once  
17 those sort of get finalized and shared, then we  
18 can incorporate those into the EDGE Tool. That  
19 way we can have some of those results feed into  
20 the AB 2127 reports.

21                  So, I mean comments coming in as soon as  
22 possible on the EDGE Tool and its data would be  
23 very helpful.

24                  COMMISSIONER MONAHAN: And have you  
25 already gotten feedback from stakeholders in this

1 process? And I'm thinking especially the  
2 utilities were providing some of the critical  
3 data.

4 MR. WOFFORD: Right, yeah. So this is  
5 really the first time that EDGE is going public.  
6 I've been working with the utilities in terms of  
7 trying to get access to their data, and, you  
8 know, find ways in order to accurately  
9 incorporate that into the model, but, yeah, like  
10 I said, this was the first time EDGE is going  
11 public. And, yeah, I welcome help from any  
12 stakeholders.

13 COMMISSIONER MONAHAN: And then I'm  
14 curious that, you know, there's sensitive  
15 business information and there's a public  
16 component. How are you juggling those two in  
17 terms of, you know, wanting to show to the public  
18 the most we can from this Tool, but also having  
19 some sensitive data that we have to be careful  
20 about?

21 MR. WOFFORD: Right. Yeah. So the ICA  
22 data themselves are, actually they have a lot of  
23 redacted information there inherently. And so  
24 that's sort of propagating through into the EDGE  
25 Tool. But EDGE also aggregates up further

1 levels, and so that information is protected via  
2 aggregation. And then the rest of the data going  
3 in at this point so far are all pretty much  
4 publicly accessible, so there's really minimal  
5 privacy concern.

6 COMMISSIONER MONAHAN: And how much of  
7 the Tool will actually be -- can you envision  
8 would be made available to the public?

9 MR. WOFFORD: I'm hoping that EDGE can  
10 sort of live as like in a terminus points in all  
11 of the expanded EVI-Pro and HEVI-Pro analysis.  
12 So that will -- I'm hoping it'll sort of live as  
13 a data hub, to where all of the models, data that  
14 comes out of them can, sort of be integrated  
15 together and viewable, and, you know, you can  
16 crosscut through the different domains that I was  
17 explaining before. So I'm hoping all of it can  
18 be viewable through EDGE at some point.

19 COMMISSIONER MONAHAN: Any idea about  
20 what that timeline would look like?

21 MR. WOFFORD: At this point, I don't  
22 really have an answer to that. But preliminary  
23 results from EDGE are, like I said, are  
24 contingent from EVI-Pro's sort of first, first  
25 pass. So as soon as those become available, I'm

1 hoping the test some public facing prototype.

2 COMMISSIONER MONAHAN: Great. Excellent.

3 MR. WOFFORD: Yeah.

4 COMMISSIONER MONAHAN: All right. Well,  
5 thank you.

6 MR. WOFFORD: All right. Thank you so  
7 much for the opportunity.

8 COMMISSIONER MONAHAN: All right.

9 And, Heather, we'll turn it back over to  
10 you for -- to introduce Noel again. All right.

11 MS. RAITT: Okay. Well, I think you  
12 basically just did it for me. So, yeah, so we  
13 get to hear from Noel again.

14 So go ahead, Noel.

15 MS. RAITT: You're muted, Noel.

16 MR. CRISOSTOMO: Sorry. Double meeting.

17 The next slide.

18 To outline my talk, which Micah set up  
19 very nicely, and if there's interest later --  
20 there was a question that was, was chatted to me  
21 in the, in the chat. But to get to that later on  
22 after my talk.

23 First I'll describe during this  
24 presentation where AB 2127's directive to look at  
25 other necessary charging infrastructure programs

1 juxtaposes with the broad swath of work in that  
2 directive.

3           Next I'll explain the aim and process of  
4 one conceptual other program, the Transportation  
5 Electrification Regulatory Policies Act, inspired  
6 by the similarly named 1978 policy at the  
7 national level, requiring utilities to purchase  
8 power in qualifying facilities.

9           This idea represents the collaboration  
10 with my colleague at CPUC, from the measurements  
11 of transportation education programs, and build  
12 upon prior presentations shown here.

13           Today I'll delve into a hypetha  
14 (phonetic) and a hypetha act, a hypothetical  
15 process to -- I interpret in two parts,  
16 assessment and delivery of one charging use case  
17 in the context of our innovative infrastructure  
18 deployment strategies described earlier.

19           To emphasize this is a hypothetical  
20 proposal that attempts to answer initial comments  
21 that we received, and we continue to seek  
22 improvements to understand how it might be  
23 implemented.

24           First shown on the next slide, AB 2127  
25 tasks the Energy Commission to -- that's charging

1 infrastructure needs across various program  
2 elements in transportation segments, including,  
3 quote, "other programs to accelerate the adoption  
4 of EV's."

5           Considering this directive in our March  
6 2019 IEPR Staff Workshop, I emphasized that,  
7 quote, "accounting for interaction between  
8 infrastructure factors is important." For  
9 example, infrastructure must fit into the broader  
10 system of vehicles used and travel demanded. For  
11 example, the makeup of the network serving  
12 automated, shared and ride hailing EV's would be  
13 very different compared to personally-driven  
14 ones.

15           Second, charging assets can be deployed  
16 at different speeds, since transportational  
17 electrification includes, quote, "charging  
18 electricity from external sources of electric  
19 power, including from distributed energy  
20 resources aside from the grid or as an  
21 enhancement to it," as highlighted during our EV  
22 Resilience Workshop two weeks ago.

23           And third, these infrastructure factors  
24 should also account for the design of incentives  
25 that are supporting the market, but could benefit



1 installations, but also have unintended  
2 consequences.

3           On the next slide, TERPA addresses and  
4 harnesses these factors to form a structure with  
5 the intent to electrify transportation at the  
6 speed, scope and scale necessary to achieve air  
7 quality targets and decarbonization. In short,  
8 the purpose of TERPA is to accelerate widespread  
9 transportation electrification, while leveraging  
10 limited public forums with private capital.

11           It's clear that our multi-prong  
12 infrastructure efforts thus far needs to  
13 accelerate. First to accelerate products and  
14 solutions, but not as a singular focus of  
15 connector counts. As NREL is show during our  
16 presentation Thursday, supplying sufficient  
17 energy to be utilized among geographically  
18 distributed infrastructure is the core challenge  
19 of charging.

20           Technology capability and business model  
21 design can change what the -- of which the  
22 network look like. To this point, the network  
23 should seek to maximize the electric miles  
24 enabled by each project under a broad scope that  
25 covers the various transportation models.

1           And lastly, given the economic downturn,  
2 we have to be strategic in our funding so that we  
3 are laying the groundwork for sustained scale.  
4 This includes improving upon older programs and  
5 writing poor market signals that might pause  
6 investments, where, for example, site hosts wait  
7 until more lucrative signals -- where more  
8 lucrative incentives are available or value  
9 stacking, which might find intentionally over  
10 incentivize the project at the expense of  
11 reaching more sites.

12           Shown on the next slide, overall, TERPA  
13 intends to assemble the diverse, but often  
14 disconnected infrastructure efforts, at the state  
15 and local level with industry players, EVSP's and  
16 utilities.

17           Stakeholders have raised the need to  
18 improve inter-agency coordination on  
19 infrastructure programs, what was best for our  
20 last unified policy and economic model to  
21 maximize their ability to truly complement each  
22 other.

23           TERPA, as depicted here in two phases.  
24 First, multi-scale markets testaments to inform  
25 reverse auctions backed by a pool of public

1 funds, seeking the most effective portfolio of  
2 projects at the level needed to meet California's  
3 transportation electrification law. Using the  
4 avoided cost of charging as a unified measure  
5 called, "investments efficiency," to enable  
6 electric travel that's reverse auction, induces  
7 the market competition to identify a supply of  
8 grid-integrated projects.

9           This transitions to the second phase in  
10 which the avoided costs derives the budget that  
11 can be tailored to overcome the unique challenges  
12 faced by each respective service provider, as  
13 well as to result constraints on broader market  
14 growth.

15           And finally, these result in  
16 installations that are backed by longer term  
17 certainty to enable financing for projects to  
18 which utilities provide load service and electric  
19 rates. Understandably, this is a lot, so on the  
20 next slide will piece apart a realistic but  
21 fictional example.

22           So as many of you know, the Commission  
23 has invested in regional planning, and more  
24 recently, community blueprints to improve  
25 readiness.

1           For example, last year's Port of Long  
2 Beach blueprint identified the need for a variety  
3 of conventional stationary, mobile and even  
4 micro-grid based charging that could be needed to  
5 serve its effort to transition to a fully  
6 emission -- fully zero-emission Drayage Truck  
7 fleet in 15 years.

8           Beyond the report, they highlighted that  
9 regional infrastructure plans would be needed to  
10 recharge these trucks when they move goods to the  
11 Inland Empire's distribution centers.

12           Next slide.

13           The blueprint cautioned about the need to  
14 prepare for electrical upgrades necessary to move  
15 towards the zero-emission operations and its  
16 implications for broader grid planning as a core  
17 node affecting many other utilities in Southern  
18 California.

19           Thankfully, as Micah showed, Edison's  
20 integration capacity analysis maps can be used to  
21 plan this regional Drayage infrastructure.  
22 Building off of this example describes in EDGE,  
23 if three goods move in customers shown here,  
24 require electrification of around 61 megawatts  
25 for 10 megawatts of load in excess of what is

1 available in that distribution zone, Edison might  
2 need to upgrade a trip -- a primary transformer  
3 at a cost of \$400,000.

4           Next slide.

5           And to meet this need, incentive programs  
6 could establish an opportunity for EV service  
7 providers. To cure, the Energy Commission could  
8 establish minimum provider and technical  
9 requirements, that we understand some EVSP's  
10 bulkanized across program administrators, which  
11 limit economies of scale, planning and  
12 interoperability.

13           In TERPA we propose that given the  
14 independent, statewide and long-term perspective  
15 that the Energy Commission has built to encourage  
16 a successful private and public charging  
17 infrastructure market, that's the Commission  
18 qualify suppliers, so that they can participate  
19 in a reverse auction backed by public funding

20           To maximize leverage, this could pool  
21 clean transportation program funding, local  
22 funding from cities or air districts, and even  
23 utility rate air investments, to maximize the  
24 efficient access to market opportunities for the  
25 many EVSP's operating in California.

1           This qualification process would be  
2 compared -- would be comprised of impartial due  
3 diligence of the company, and to ensure that  
4 EVSP's leveraging technology with our state,  
5 grid, grid connected and interoperable, we could  
6 include the specifications as described in my  
7 prior presentation.

8           Next slide, please.

9           In preparation for the reverse auction,  
10 qualified EVSP's would conduct outreach to  
11 customers to activate projects with private  
12 financial backing across the geographic scope of  
13 the investments.

14           In this example, given information about  
15 the distribution center fleets, they would  
16 develop bids calculated as the public investment  
17 needed, to offer the energy capabilities that the  
18 customers demand. The avoided cost of charging  
19 the bids would represent the viability of the  
20 EVSP.

21           Essentially, by having to minimize the  
22 cost, service as a prospectus for the EVSP's  
23 ability to attract private investment from  
24 private finances, representing the minimum  
25 amounts of public funding needed to sustain their

1 operation for the auction's delivery period.  
2 Importantly, this request for funds is normalized  
3 for the electric miles that they could prove with  
4 existing technologies or future innovation. And  
5 it is also normalized by their ability to quickly  
6 deploy charging infrastructure with  
7 installations.

8           In short, this metric incentivizes a fair  
9 competition between EVSP's to offer the most  
10 effective public investments to enable electric  
11 miles.

12           On the next slide, I'll show example bids  
13 into the reverse auction, to serve the  
14 distribution center's fleet of Drayage trucks.  
15 So let's say that the Port of Long Beach teams up  
16 with Southern California Association of  
17 Government, backed by funding from SCAG, they  
18 pair investments to solicit Drayage truck  
19 charging infrastructure.

20           In response to this possible RFP, three  
21 service providers offer bids with combinations of  
22 three charging solutions shown above. With --  
23 as identified in the blueprint, that are best fit  
24 for the warehouses given the real estate  
25 requirements.

1           In this illustrative example, a bid from  
2 the first service provider to be stationary  
3 chargers serving 10,000 kilowatt hours a year at  
4 a cost \$5 dollars per kilowatt hour.

5           The second's mobile charters offering  
6 5,000 kilowatt hours at 10. A third,  
7 implementing a combination of the two, with a  
8 distributed generation microgrid for deciliter  
9 purposes, could offer 15,000 kilowatt hours at  
10 \$12.

11           Rank ordering these solutions determine  
12 the cost of supplying sufficient energy for the  
13 Drayage trucks. And so the next logical question  
14 that I've received, shown on the next slide, is  
15 how would we determine that demand?

16           In complements the bottom-up analysis  
17 from the blueprints, the Energy Commission's  
18 Hevi-Pro Tool can find the regional energy  
19 demanded. Please join Thursday to learn more  
20 from our partners at Berkeley Lab.

21           And in this example Hevi-Pro could  
22 quantify the charging and demanded from the  
23 fleets, combined with local and state  
24 electrification regulations to be roughly 25,000  
25 kilowatt hours per -- in 2020, just as an



1 example.

2           To account for the speed of delivering  
3 the energy to the trucks, while not illustrated  
4 here, the charging demands to be tranced  
5 according to power level. Calibrating these  
6 tranches will require close collaboration among  
7 state and local analysis to map technology  
8 options sub-segments served

9           On the next slide, comparing supplier's  
10 bids against the regulatory demand, we can  
11 discover how much the public sector would have to  
12 invest to the truck's charging. Shown in blue,  
13 the trucks would require investing -- an  
14 investment of all three EVSP's, but for all but  
15 the last 5,000 kilowatt hours, a micro-grid could  
16 supply. This procurement clears the market with  
17 a cost of the third supplier at \$12 per kilowatt  
18 hour.

19           A frequent question that has challenged  
20 public stakeholders in our and other agencies'  
21 investments, is how the public's willingness to  
22 invest to change over time, accounting for the  
23 risks and benefits of new technology, and more  
24 expensive -- more expansive decarbonization  
25 policy.

1           On the next slide, these can be  
2 abstracted as sensitivities as the supply and  
3 demand curves. For example, a downside  
4 technology risk could be the third EVSP'S micro-  
5 grid controller experiencing a contingency with  
6 one of the vehicle-distributed energy resources.  
7 On the other hand, and upside risk could be the  
8 continued decline in the cost of storage.

9           As California continues to accelerate its  
10 timeline to meet air quality goals or add some  
11 new vehicle sectors into the scopes of  
12 regulation, the reverse auction for any given  
13 year could demand more energy shifting the blue  
14 area to the right.

15           On the next slide we transition to phase  
16 two to select the investment portfolio. Having  
17 quantified and mitigated supply and demand risks,  
18 the auction would find most efficient and the  
19 diversified portfolio charging suppliers. To  
20 emphasize, at this point, we've been able to find  
21 a sufficient set of infrastructure solutions that  
22 are least costly from a public investment  
23 standpoint, because the avoided cost of charging  
24 bids pose competitions that incentivize EVSPS's  
25 to backed by a private investors. In a sense,

1 TERPA converges independent suppliers mobilizing  
2 to meet an objective amount of charging needs  
3 with a unified pool of public investment that is  
4 defined -- designed to offer more patient capital  
5 to complement independent product financiers.

6           On the next slide, I show two options to  
7 the budget of the public investment. On the left  
8 I show a payout assuming to 220,000 to the three  
9 ESVP's based on their respective at-cost bids.

10           On the right I show a count of \$300,000.  
11 So the three EVSP's, based on the marginal cost  
12 instrument, for the market-clearing price to  
13 serve full amount of energy required.

14           Economists would recognize that the  
15 difference between the two options is the  
16 producer surplus, which is the investment between  
17 how much a EVSP's would be willing to accept for  
18 supplying energy versus how much they could  
19 receive at bidding the market price.

20           But since the market price for sufficient  
21 infrastructure is largely unknown, most  
22 sufficient suppliers in an aggressive investments  
23 scenario, would benefit from their ability to  
24 beat their competitors on business model and  
25 price.

1           These same economists might remind us  
2 that producer surplus may represent an  
3 overpayment for the required charging of energy.  
4 But on the next slide I'll explain that there  
5 might be a useful purpose for these funds, if  
6 used carefully.

7           We know that the EVSP's are part of a  
8 broader ecosystem of manufacturers, city  
9 planners, workers, utilities and more. And these  
10 could be other x-factors that constrain the rate  
11 of installation.

12           For example, in the absence of AHJ  
13 permitting staff, or dearth of high voltage  
14 electricians to build and upgrade the grid region  
15 -- in the region, this could limit the rate of  
16 installations and jeopardize attainment.

17           While these market constraints are not  
18 caused by the EVSP, an aggressive investment  
19 stance could help alleviate the variety of the  
20 barriers early on in the transition.

21           Overall, the last step in the investment  
22 can circle back to check about how the proposal  
23 rewards compared to the utility's proposal to  
24 invest in conventional grid upgrades. Using this  
25 avoided cost model as a benchmark against

1 conventional system expansion, we can have the  
2 effect of monetizing the long-elusive value,  
3 efficiently integrated charging with the grid,  
4 but this requires solving the grid-data  
5 validation challenges Micah described.

6           On the next slide I'll highlight a key  
7 benefit of the TERPA avoided costs charging  
8 model, which comes from the fact that no  
9 EVSP's are exactly like, as Paul described.

10           So in this this vein, I can take comfort  
11 in the belief that there's no -- that, quote,  
12 "there is no business model in reselling power  
13 because, thankfully, pursuant to AB 631,  
14 reselling electricity is not the prime motivator  
15 for the EVSP's business model."

16           The market for charging is so diverse,  
17 because it crosses real estate, parking and site-  
18 specific customer services and amenities, with  
19 rapid changes in the form of how we use, store  
20 and even transact power.

21           Think of a nonlinear and potential peer-  
22 to-peer charging services from vehicle to grid,  
23 as described by Honda and Kia in July. TERPA  
24 harnesses that diversity with the one-cost  
25 framework and allows for EVSP's bids to be set at

1 their particular need for public funding, with  
2 awards tailored to flexibly address individual  
3 business model challenges.

4           For example, the first EVSP offering  
5 Depot chargers, and our \$50,000 award funds  
6 temporary demand charge rate relief, as the fleet  
7 grows in size, especially the installation is  
8 occurring during an inopportune time during the  
9 rate design window.

10           Second, other EVSP's, \$50,000 could  
11 support manufacturing line expansions. And the  
12 third EVSP's could connect to the grid and pay  
13 for control of equipment. Under TERPA the  
14 charging suppliers compete upon an equal playing  
15 field, with a potential expense of expanding the  
16 distribution of the -- the charging supplies  
17 would compete upon an equal playing field, with  
18 the potential of expending capital on an expanded  
19 distribution system.

20           And DB utility upgrades or at least cost  
21 solutions. Those would be pursued as  
22 complimentary solution after maximizing the  
23 benefit of grid-integrated charging and the  
24 deployment of other distributed resources in line  
25 with the distribution management goals of AB 327

1 from 2015.

2           On the next slide I'll highlight core  
3 roles of the utilities putting all this together.  
4 With a certainty that their barriers can be --  
5 various entry can be surmounted with public  
6 investments, the EVSP's can finally begin the  
7 projects delivery.

8           In sequence, the utilities construct  
9 unavoidable grid upgrades, and quickly energize  
10 the stations as the stations are build. And  
11 serve their core responsibility to design rates  
12 that serve the distribution warehouse and the  
13 truck chargers together.

14           To emphasize, please recall Nuvve's  
15 comment during the June workshop, emphasizing the  
16 need to serve marshaling costs and rates for  
17 EV's. And the load at the building, so that  
18 vehicles are integrated with the grid, not just  
19 added to it.

20           A summary of the TERPA process is shown  
21 on the next slide, which I won't go through in  
22 favor of letting people read that on their own.  
23 But it serves as a blueprint for stakeholders to  
24 build upon with comment.

25           Clearly, TERPA requires a great cross-

1 sector coordination, but we know that this is  
2 necessary to rise to the challenge, codes as we  
3 electrify. We offer this proposal seeking your  
4 support, because as shown on the next slide,  
5 TERPA offers a unified model to deploy  
6 infrastructure to speed, scope and scale  
7 necessary to meet our goals.

8           And so in conclusion, with your help,  
9 TERPA could quickly allow for market injection of  
10 leverage funds to expand technology manufacturing  
11 and propose a mobilization to deploy charging  
12 with greater long-term certainty to investors.

13           Second, that can be flexible and broaden  
14 the scope of charging solutions and promote their  
15 competition based on minimizing social costs, to  
16 enabling an attainment level and decarbonization  
17 level of electrification and electric miles.

18           Finally, leveraging the avoided-cost  
19 model will send market signals and front the  
20 value of innovative grid-integrated alternatives  
21 that are less expensive than conventional  
22 solutions, allowing us to scale deployments while  
23 offering a path and access larger pools of  
24 capital than we are currently mobilizing.

25           I'll conclude here staying on this



1 slide, with advanced appreciation for your time  
2 and feedback, in helping continued development of  
3 this concept.

4 Commissioner Monahan, I'm happy to answer  
5 to answer questions or questions from the  
6 audience. Thanks.

7 COMMISSIONER MONAHAN: Thanks, Noel. Now  
8 I know, I'm supposed to be asking questions.

9 So, I am wondering -- I mean you  
10 presented this concept at the workshop that we  
11 had with Commissioner Rechtschaffen from the  
12 Public Utilities Commission. What kind of  
13 reaction have you gotten from different  
14 stakeholders to the to the TERPA concept?

15 MR. CRISOSTOMO: Sure. Several  
16 stakeholders have been pretty excited about the  
17 opportunity to front the value of grid  
18 integration. That's -- as we were talking with  
19 Gridworks recently during the last IEPR  
20 presentation, that could be really a compelling  
21 opportunity to combine charging infrastructure  
22 planning with our grid integration goals.

23 In addition, there's great interest in  
24 how this could offer a longer term planning  
25 opportunity for EVSP's as they develop projects.

1 It allows for, kind of confidence to our first  
2 come, first served rebate models. And there's  
3 requests to think about how these pieces fit  
4 together.

5           In addition, there's feedback from  
6 utilities who -- maybe I kind of named this  
7 poorly. I got a little bit concerned about the  
8 TERPA, the call back to TERPA, in which long-term  
9 contracts, 30-year contracts were established.  
10 But I've made -- I've tried to answer their  
11 questions about implementation, how the money  
12 flows, which is not just a utility question, but  
13 project developer question.

14           To show in this example -- I'm sorry for  
15 running over, but it was important to bring this,  
16 bring this to light and answer some questions.

17           How this actually could work in the  
18 context of all the other different things that we  
19 do at Energy Commission. That was one with  
20 common questions. Do we have the ability to  
21 analyze this? And I think if we put all the  
22 different parts together, That could be an  
23 opportunity, while also avoiding the risks of  
24 long-term contracting, but also offering a way to  
25 give investors some certainty.

1           So, in, in short, there is positive  
2 reaction, there's great interest. I actually  
3 heard from one stakeholders who said they brought  
4 this to their project finance folks, and they got  
5 pretty excited and want to bring this to  
6 Colorado. They want me to present to the  
7 Governor's Office in Colorado. I was like, well,  
8 let's develop this a little bit more before I'm  
9 on the hook for that.

10           So, I think overall it's been positive.  
11 And it's definitely not finished. So, even  
12 though I have provided the detailed example here,  
13 we'd like to receive more ideas.

14           COMMISSIONER MONAHAN: And which  
15 stakeholders are particularly interested in  
16 getting feedback from? Like who do you think  
17 needs to have eyes on this proposal to help shape  
18 it in the right way?

19           MR. CRISOSTOMO: So I've received  
20 feedback from the EVSP's, utilities, some  
21 environmental organizations who really want to  
22 move at the speed, scope and scale of  
23 decarbonization. And so, more feedback from  
24 ratepayer advocates, more feedback from  
25 automakers who want to understand the value of

1 vehicle-to-grid, which fits, as I alluded to in  
2 this concept, would be very valuable, as well as  
3 others that haven't heard from.

4           Financiers, along the lines of Tim's  
5 private capital initiative, would be very  
6 welcome, to see if this provides the long-term  
7 market signals that we're hoping to enable a  
8 transition to private efforts and the public  
9 compliments to a much larger private effort.

10           So those would be the three ones that I  
11 highlight first, ratepayer advocates, automakers  
12 and financiers, but everyone is welcome.

13           COMMISSIONER MONAHAN: And can you walk  
14 me through -- this will be my last question.  
15 That, you know, the Energy Commission is one  
16 entity that could help shape this, but there are  
17 others. Can you walk through what different  
18 levels of Government and outside entities and  
19 utilities you think could be, sort of be  
20 administrators of this --

21           MR. CRISOSTOMO: Sure.

22           COMMISSIONER MONAHAN: -- type of  
23 program?

24           MR. CRISOSTOMO: Sure. Sure. And if you  
25 go back slide five, that says how could TERPA

1 work. I'm glad that I put in the extra effort to  
2 assemble the diagram.

3           If you can share that slide, I can  
4 highlight that. We haven't determined who the  
5 program administrator is. But it really requires  
6 a close coordination among a diversity of program  
7 analysts, industry and funders of infrastructure.  
8 And the way to maximally leverage and unify our  
9 efforts, unify our front to take on big oil, is  
10 to collaborate in some still yet undefined way.  
11 But it really brings together state analysis, the  
12 Energy Commission's analysis.

13           CARB's analysis that tracks  
14 decarbonization targets, air quality team and  
15 targets. As Ben for LB&L will show, also the  
16 local governments. Like the air districts in So  
17 Cal that going beyond the Air Resources Board's  
18 requirements for zero-emission trucks.

19           And so that's a call out to stakeholders  
20 who have worked on our community blueprints and  
21 readiness plans, like the Port of Long Beach, as  
22 I described. Of course, the EVSP's will need to  
23 be involved to help design this, this program.  
24 And importantly, to back all this in data-ify the  
25 public investment, the utilities in their

1 administration of rate-payer funded programs,  
2 needs to be coordinated with our fee-payer funded  
3 programs under the Clean Transportation Program,  
4 which also could team up with cities, as we have  
5 seen CALeVIP, that support the program expansion  
6 in their local government.

7           And as you can see illustrated, workers  
8 are interested, automakers should be interested.  
9 This is really a hope to help unify all of our  
10 efforts so it's really collaborative, and  
11 advances as quickly and most efficiently as  
12 possible in reducing the public investment and  
13 making it most efficient to enable electric  
14 miles.

15           COMMISSIONER MONAHAN: Well, thanks,  
16 Noel. This is a really exciting proposal, and  
17 really appreciate your vision, and the fact that  
18 you are relentless in terms of exploring new  
19 ideas to advance transportation electrification.  
20 So thank you personally for all the work that you  
21 do.

22           MR. CRISOSTOMO: Thank you. And to  
23 create a concept, you know --

24           COMMISSIONER MONAHAN: Heather, I'll turn  
25 it over --

1           MR. CRISOSTOMO:  -- to you have any  
2 questions.

3           MS. RAITT:  I'm sorry.  What was that?

4           MR. CRISOSTOMO:  I didn't get my complete  
5 reply.  So if anyone has questions, you can reach  
6 me at this e-mail.

7           COMMISSIONER MONAHAN:  Excellent.  Thank  
8 you.

9           All right, Heather, I'll turn it over to  
10 you now.

11          MS. RAITT:  That's great.  That's a  
12 multi-tasking background.

13          So thanks, Noel.

14          We're going to move on to public comment  
15 now.  I see somebody has already raised their  
16 hand.  So if you're on Zoom, go ahead and click  
17 the raise hand icon to let us know that you'd  
18 like to make comments.

19          And if you're on the phone -- somebody  
20 changed their mind.  Anyway, if you're on the  
21 phone, press star nine and that will effectively  
22 raise your hand to let us know that you'd like to  
23 comment

24          And RoseMary Avalos from the Energy  
25 Commission's Public Advisor's Office is here to

1 help us with public comment.

2 Go ahead, RoseMary. Thanks.

3 MS. AVALOS: Thank you, Heather.

4 We have -- first I'll call on the  
5 attendee using the raised hand feature on Zoom.  
6 Please state your name and affiliation, and spell  
7 your first and last name. Also, do not use the  
8 speakerphone feature because we may not be able  
9 to hear you clearly.

10 Let's see. Lisa McGhee, your line is  
11 open, and you may need to unmute on your end.

12 MS. MCGHEE: Hi. I think I'm muted.

13 MS. AVALOS: Go ahead. Okay.

14 MS. MCGHEE: Okay. Thank you. Noel, I  
15 had a question for you. It's Lisa McGhee with  
16 actually Green Power Water Company, which is a  
17 new affiliation for my job.

18 And I had a question for you as it  
19 relates to more advanced integrated technologies  
20 in charging, which would obviously be two  
21 elements for medium/heavy-duty sector. One being  
22 voltage above 500, and wireless charging, which  
23 is certainly being integrated today in both  
24 luxury cars and for the medium/heavy-duty sector.

25 So how does some of this compliment in



1 your first presentation, some of the advanced  
2 technologies and standards for voltage at high  
3 levels?

4 MR. CRISOSTOMO: Sure. So critical part  
5 of -- is that a question related to the first  
6 presentation and the second?

7 MS. MCGHEE: The first presentation.  
8 Just because I think -- well, I'll let you  
9 decide. But my concern is just making sure that  
10 we're standardizing to support advanced  
11 technologies because that could be an issue if  
12 the charging doesn't have the right voltage, then  
13 you're not going to be able to support a vehicle  
14 at over 500 volts, which has become issues in  
15 deployments that have happened with standard DC  
16 Fast charging at 50 kilowatts.

17 And then, also connectors that would be  
18 integrated into vehicles today which don't void  
19 the connector, which is the J7272 plug, but would  
20 just be a compliment to both luxury vehicles  
21 which is available today, and then also in  
22 medium/heavy-duty vehicles.

23 MR. CRISOSTOMO: Right. So the CEC is  
24 working through a contract with NREL to test,  
25 because I mentioned, the high-power charger for

1 commercial vehicles, which exceeds the  
2 capabilities of the 350 kilowatt or 400 kilowatt  
3 liquid cooled CCS.

4           And so the objective is to serve  
5 commercial vehicles that require duty cycles  
6 beyond the speed at which they might be recharged  
7 with a CCS-1. And so they're designing  
8 standardized connectors for exactly that purpose  
9 going forward 10 times that speed, up to --  
10 beyond the megawatt scale.

11           Yeah, that charging technology is still  
12 in process, but I think it's intended to solve  
13 exactly that problem.

14           MS. AVALOS: Okay. Thank you.

15           We'll move on to public comment with  
16 Stacey Reineccius. I'm sorry if I'm not  
17 pronouncing your name correctly. Please state  
18 your name and affiliation, and spell your first  
19 and last name.

20           Your line is open, Stacey.

21           MR. REINECCIUS: Hello. Stacey  
22 Reineccius with Power Tree Services. S-T-A-C-E-  
23 Y, R-E-I-N-E-C-I-U-S.

24           Noel, could you give an example or  
25 address how multi-family might fit within the

1 TERPA structure? As you know, 45- to 67-percent  
2 of residents, depending on their area in  
3 California, reside in multi-family, and we still  
4 have near zero penetration in support for people  
5 in multi-family.

6 So I'm curious as to how you see TERPA  
7 accelerating that, because I think that's  
8 critical if we're going to achieve the State's  
9 goals.

10 MR. CRISOSTOMO: Multi-family solutions  
11 is actually, it's one of the inspirations for the  
12 TERPA concept. Because what we're seeing is that  
13 there isn't a single solution silver bullet for  
14 multi-family charging. Obviously, you could go  
15 into every single building and construct that,  
16 and we understand there's a capital barrier to  
17 that. There's a renter turnover barrier to that.

18 And so the idea then critical to think  
19 about, okay, what about local DC Fast chargers  
20 that are shared in the street side in the  
21 neighborhood or at a grocery store, that people  
22 can frequent in an urban area. Or what about  
23 charging at work as a replacement to going into  
24 every grocery store going into every individual  
25 multi-unit dwelling.

1           And so the fundamental framework for  
2 TERPA allows for us to compare these solutions,  
3 very much compliments and competitors with each  
4 other, because they serve as compliments to EV's.  
5 They often serve in networks together as  
6 substitutes in fact.

7           And as long as we're able to find  
8 solutions that don't require major changes in  
9 behavior, that would be fair in any, any RFP that  
10 TERPA solicits. In essence, we would be able to  
11 compare kind of the fundamentals of the project.

12           How much energy would you be able to  
13 offer to your community or to your multi-unit  
14 dwelling network of users with your solution, and  
15 how much public investment would be required to  
16 de-risk a long-term investment in that solution.  
17 And so, those two parameters, potential energy  
18 and capability, are -- and the public investment  
19 requests, serve as the denominator and numerator  
20 of the basis for the competition, which is what  
21 it costs.

22           And so we are able to compare all the  
23 different solutions for infrastructure, including  
24 for multi-unit dwellings on a fair and a  
25 impartial basis. I hope that answers your

1 question.

2 MS. AVALOS: Thank you, Noel.

3 Our next commenter is Nicholas Johnson,  
4 And please remember to state your name and  
5 affiliation, and spell your name. Thank you,  
6 Nicholas. Your line is open.

7 MR. JOHNSON: Hi. You can spell my name,  
8 N-I-C-H-O-L-A-S, J-O-H-N-S-O-N. I'm an engineer  
9 at a company called Orange Charger.

10 Actually, to your question about MUD's,  
11 I'm curious on kind of what your approach is  
12 around there, kind of when you say installing,  
13 you know, DC Fast charging. Do you guys --  
14 because something I was going to -- I wanted to  
15 get a sense for it. In your presentation, was  
16 where you get a lot of the data you guys were  
17 using to make these decisions, on do you have the  
18 data? Do you look at like where cars are being  
19 sold? And then how does that impact your  
20 disbursement of like your programs that you're  
21 working on?

22 MR. CRISOSTOMO: So I can attempt to  
23 answer that, but it really relies on some  
24 coordination work with other presenters earlier.  
25 Mainly, Tiffany, and her presentation on

1 disadvantaged communities and low-incomes  
2 deployments of infrastructure, in which we're  
3 examining that kind of geospatial distribution of  
4 these chargers and if there are ways to improve  
5 our access, our provision of access to those  
6 communities. But it also will rely on tools like  
7 EDGE, in which we're working with the Energy  
8 Assessments Divisions data sets for DMV  
9 registrations. So that's, that's something to  
10 come, but we can't really speak to it yet.  
11 That's, that's definitely on our radar.

12 MS. AVALOS: Thank you.

13 Our next commenter is Rajiv Shah. And  
14 please state your name and affiliation, and spell  
15 your first and last name.

16 Rajiv, your line is open. You may need  
17 to unmute on your end.

18 MR. SHAH: Okay. I think I think I'm  
19 unmuted now. Rajiv Shah, R-A-J-I, V, as in  
20 Victor. Last name, S-H-A-H. I'm with FreeWire  
21 Technologies.

22 And, yeah, I really appreciated these  
23 panels. I just offer these comments, kind of in  
24 a follow-up to a panel I was involved with on  
25 IEPR in June, involving sort of the scaling up

1 and attracting private investment to build out  
2 charging infrastructure. In that I think TERPA  
3 is a concept that FreeWire wholly supports, and  
4 it kind of gets at an issue that we've faced with  
5 sort of the bifurcated treatment of equipment  
6 subsidies versus make ready.

7           And, you know, we manufacture battery-  
8 integrated equipment that largely reduces  
9 infrastructure costs on the grid side of things,  
10 but the equipment costs more. And so the  
11 presence of just, you know, 100-percent subsidies  
12 through the utilities for make ready reduces sort  
13 of our business models by ability in many  
14 instances in California.

15           I think TERPA, you know, if its  
16 actualized, could result in sort of a more  
17 holistic consideration and a more cost-effective  
18 and beneficial expenditure of public funds  
19 throughout California. So I wanted to offer that  
20 there.

21           On the interoperability side, you know,  
22 at FreeWire we wholly support efforts to support  
23 interoperability. And I would, I would just say  
24 that for small businesses, and start-ups in  
25 particular, continuing to support our ability to

1 affect the interoperability standards, whether  
2 it's ISO 15118 or OSEPP standards is really  
3 important.

4           And so we appreciate programs like  
5 CalTestBed and the ViGIL solicitation concept in  
6 that -- to sort of help us be able to comply and  
7 compete with companies that have, maybe have more  
8 resources or are larger than us.

9           So that's all I had just some straight-up  
10 comments. No questions.

11           MS. AVALOS: Thank you, Rajiv.

12           Now we'll move on to the phone lines. A  
13 reminder to dial star nine to raise your hand,  
14 and star six to mute or unmute your phone lines.

15           Are there any other comments, please  
16 raise your hand.

17           Okay, seeing that there are no other  
18 raised hands, I'll go ahead and turn the mic over  
19 to Commissioner Monahan.

20           COMMISSIONER MONAHAN: Great.

21           Well, thanks to Micah and to Noel for  
22 their excellent presentations.

23           And, again, join us on Thursday. We're  
24 going to be doing more deeper dive exploration  
25 into some of the analytical tools that we're



1 using to assess California's progress towards  
2 building out a charging infrastructure sufficient  
3 to meet the needs of 5,000,000 electric vehicles  
4 by 2030.

5           So thanks everybody. Have a good evening.

6           (The workshop concluded at 4:15 p.m.)

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 10th day of December, 2020.



---

MARTHA L. NELSON, CERT\*\*367

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



---

MARTHA L. NELSON, CERT\*\*367

December 10, 2020