

**DOCKETED**

<b>Docket Number:</b>	20-LITHIUM-01
<b>Project Title:</b>	Lithium Valley Commission
<b>TN #:</b>	237478
<b>Document Title:</b>	Transcript for March 25, 2021 Meeting
<b>Description:</b>	Transcript of Lithium Valley Commission meeting held on March 25, 2021.
<b>Filer:</b>	Elisabeth de Jong
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	4/16/2021 1:53:27 PM
<b>Docketed Date:</b>	4/16/2021

BEFORE THE  
CALIFORNIA ENERGY COMMISSION

In the matter of: )  
 )  
Convening of the Lithium Valley )  
Commission )  
\_\_\_\_\_ )

REGULAR MEETING

REMOTE VIA ZOOM

THURSDAY, MARCH 25, 2021

1:30 P.M.

Reported By:

Elise Hicks

APPEARANCES

Lithium Valley Commission

Silvia Paz, Chair

Rod Colwell, Commissioner

Roderic Dolega, Commissioner

Miranda Flores, Commissioner

Martha Guzman Aceves, Commissioner

James C. Hanks, Commissioner

Ryan E. Kelley, Commissioner

Arthur Lopez, Commissioner

Luis Olmedo, Commissioner

Frank Ruiz, Commissioner

Manfred Scott, Commissioner

Tom Soto, Commissioner

Jonathan Weisgall, Commissioner

California Energy Commission

David Hochschild, Chair

Karen Douglas, Commissioner

California Energy Commission Staff

Kourtney Vaccaro, Advisor to Commissioner Douglas

Eli Harland, Advisor to Commissioner Douglas

Terra Weeks, Senior Advisor to Chair Hochschild

Le-Quyen Nguyen, Advisor to Chair Hochschild

APPEARANCES

California Energy Commission Staff (cont'd)

Noemi Gallardo, Public Advisor

Elisabeth de Jong

Deborah Dyer, Chief Legal Counsel

Anna Ferrera, Assistant Executive Director, Office of  
Governmental and International Affairs

Lindsay Buckley, Director of Communications and External  
Affairs

Presenters

Logan Goldie-Scot, BloombergNEF

Michael McKibben, University of California - Riverside

Public Comment

Micah Mitrosky, International Brotherhood of Electrical  
Workers Local 569

Azita Yazdani

Laurel Lees

Rebecca Zaragoza, Leadership Counsel for Justice and  
Accountability

Mike Garabedian

Caity Smith, National Renewable Energy Laboratory

Patrick Dobson

INDEX

	Page
Welcome and Roll Call	7
Administrative Items:	9
Approval of Past Meeting Action Minutes	
Consideration of Rules of Order	
Possible election of Vice Chair	
Goal Setting	41
Lithium Valley Commission Report	56
General Report Structure	
Establish Commissioner Workgroups	
Guest Presentation on the Global Lithium Market	82
Panel Discussion by Industry and Academia on Active Lithium Recovery Facilities	104
Media and Legislation Updates	145
Determination of Agenda Topics, Speakers, and Presentations for Future Meetings	155
Public Comment	159
Adjourn	160

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

P R O C E E D I N G S

1:31 P.M.

THURSDAY, MARCH 23, 2021

CHAIR PAZ: Good afternoon everyone.

Welcome to the Lithium Valley Commission meeting. Before we get started, I am going to hand it over to Elisabeth from the Energy Commission, she's a Project Manager there, and she'll go over some housekeeping and do the roll call for us as well.

So Elisabeth?

MS. DE JONG: Thank you. So before we get started I just want to say thank you. This meeting is being conducted entirely via Zoom. This means that we're in separate locations and communicating only through electronic means. We are meeting in this fashion, consistent with Executive Orders N-25-20 and N-29-20, and the recommendations from the California Department of Public Health, to encourage physical distancing in order to slow the spread of COVID-19.

This meeting is being recorded, as well as transcribed, by a Court Reporter. The transcript will be posted to the electronic docket. The recording of the meeting will be available on the Lithium Valley Commission

1 webpage.

2           Members of the public will be muted  
3 during the presentation. But there will be an  
4 opportunity for public comment on each agenda  
5 item, and an additional opportunity for public  
6 comment towards the end of the agenda.

7           To provide public comment, please use the  
8 raise-hand feature in your Zoom application to be  
9 called on to speak. When you speak, please  
10 provide your name and affiliation. If you called  
11 in by phone, you will need to dial star nine to  
12 raise your hand and star six to un-mute yourself.  
13 Before speaking, please say and spell your name  
14 for the Court Reporter.

15           There is also a Q&A window in Zoom which  
16 you can use to type your questions. If you want  
17 to provide public comment but are unable to raise  
18 your hand in the Zoom application or by phone,  
19 then during the public comment portion of the  
20 workshop you may type your comment into the Q&A  
21 window so we can relay your comment.

22           We'll go over these instructions again  
23 during the time for clarifying questions and  
24 public comment.

25           Please remember to stay muted until

1 you've been called on to speak.

2 We also have the chat function available  
3 for I.T. support.

4 I will go ahead and lead us through the  
5 roll call before handing it back over to Chair  
6 Paz.

7 So we are going to do the roll call for  
8 the Lithium Valley Commission Members to  
9 determine a quorum. I will call your name.  
10 Please respond if you are present, and turn on  
11 your camera, if you can. This is in alphabetical  
12 order.

13 Rod Colwell?

14 COMMISSIONER COLWELL: Present.

15 MS. DE JONG: Roderic Dolega?

16 COMMISSIONER DOLEGA: Present.

17 MS. DE JONG: Miranda Flores?

18 COMMISSIONER FLORES: Present.

19 MS. DE JONG: Martha Guzman Aceves? Not  
20 present.

21 James C. Hanks? Not present.

22 Ryan Kelley?

23 COMMISSIONER KELLEY: Present.

24 MS. DE JONG: Thank you.

25 Arthur Richie Lopez?



1 COMMISSIONER LOPEZ: Present.

2 MS. DE JONG: Thank you.

3 Luis Olmedo?

4 COMMISSIONER OLMEDO: Present.

5 MS. DE JONG: Silvia Paz?

6 CHAIR PAZ: Present.

7 MS. DE JONG: Thank you.

8 Frank Ruiz?

9 COMMISSIONER RUIZ: Present.

10 MS. DE JONG: Manfred Scott?

11 COMMISSIONER SCOTT: Present.

12 MS. DE JONG: Tom -- Thomas Soto? Tom

13 Soto?

14 COMMISSIONER SOTO: Here. Here I am.

15 MS. DE JONG: Thank you.

16 And Jonathan Weisgall?

17 COMMISSIONER WEISGALL: Present.

18 MS. DE JONG: Thank you.

19 I heard all but two Commissioners

20 present, so we have a quorum.

21 I just want to take a moment to introduce

22 names of CEC Support Staff. We have Commissioner

23 Douglas and Advisors, Chair Hochschild and

24 Advisors, the Public Advisor, who can assist with

25 public participation, Noemi Gallardo.

1           With that, I'll turn it back to you,  
2 Chair Paz.

3           CHAIR PAZ: Thank you, Elisabeth. And,  
4 again, welcome everybody.

5           So in front of us, we have the agenda.  
6 As you can see, we have a packed few hours. And  
7 we are going to be going over some administrative  
8 items, as well as hearing from some panelists,  
9 and also determining and discussing the structure  
10 of the report as was requested in our first  
11 meeting.

12           Next slide please.

13           So the first item is to approve the  
14 meeting action items. Everyone should have  
15 received a copy of the minutes or action items  
16 from the last meeting. And I know Elisabeth is  
17 ready to put it -- share it on the screen, if we  
18 need to. But are there any questions on the  
19 action items from the past meeting?

20           Hearing or seeing none, no comments, I  
21 will assume that everything was reflected  
22 accurately. We don't need to make any changes.  
23 But before we go through a vote, we're going to  
24 open it to public comment.

25           Elisabeth?

1 MS. DE JONG: Yes. Thank you. Let me  
2 get ready for public comment here.

3 If you're joining via Zoom on your  
4 computer, please use the raise-hand feature. If  
5 you called in, dial star nine to raise your hand,  
6 and then star six to un-mute yourself. We'll  
7 start with the raised hands on Zoom.

8 I see one raised hand, that's Micah  
9 Mitrosky. I'm going to allow you to talk. And  
10 go ahead.

11 MR. MITROSKY: Hi everyone. Can you hear  
12 me?

13 MS. DE JONG: Yes, we can.

14 MS. MITROSKY: Great. Good afternoon,  
15 Chair Paz and Commission Members. My name is  
16 Micah Mitrosky. I'm speaking on behalf of over  
17 3,500 members of the International Brotherhood of  
18 Electrical Workers Local 569, the Electricians  
19 Union representing San Diego and Imperial  
20 Counties.

21 And as you outlined the key components  
22 for the Lithium Valley Commission report today,  
23 we urge you to incorporate the following into the  
24 report.

25 One, projects need to create high-

1 road/high-quality construction, operations and  
2 maintenance careers for local workers, good jobs  
3 that pay well with healthcare and pension  
4 benefits.

5           Item two, projects need to employ local  
6 apprentices enrolled in a state-approved  
7 apprenticeship program.

8           And item three, lithium efforts in  
9 Imperial County must complement the ongoing work  
10 of the Salton Sea to protect public health and  
11 restore habitat.

12           The vast majority of renewable energy  
13 projects in Imperial County have been built under  
14 project labor agreements. These projects have  
15 generated good paying union jobs, employing  
16 workers in an economically hard hit region of our  
17 state. The growth of a new clean technology  
18 industry in Imperial County needs to follow this  
19 same high-road job trajectory and needs to be  
20 done in a way that is safe, environmentally  
21 responsible, and equitable for the community.

22           Thank you. And we look forward to  
23 continuing to engage as stakeholders.

24           MS. DE JONG: Thank you.

25           I just want to take a second. I do see

1 that Commissioner James Hanks was able to join  
2 us.

3 We just went through roll call, so if you  
4 could just go ahead and un-mute and let us know  
5 that you're able to participate, we'll be able to  
6 proceed with the meeting with your attendance.

7 COMMISSIONER HANKS: Okay. Can you hear  
8 me?

9 MS. DE JONG: Yes, we can. Thanks for  
10 joining us.

11 And we do have one more public comment

12 COMMISSIONER HANKS: Thank you.

13 MS. DE JONG: Azita Yazdani, I'm going to  
14 go ahead and un-mute you, if you'd like to make  
15 your comments on the meeting action minutes?

16 MS. YAZDANI: I'm sorry. That was a  
17 mistake. I did not have any comment at this  
18 point. Thank you.

19 MS. DE JONG: Okay. Thank you.

20 All right, Chair Paz, that is the only  
21 public comments that we can see.

22 CHAIR PAZ: Thank you.

23 So at this point, I will need a motion to  
24 accept the minutes from the last meeting.

25 COMMISSIONER WEISGALL: So moved.

1 COMMISSIONER SOTO: So moved.

2 COMMISSIONER WEISGALL: I'll second.

3 Jonathan will second.

4 CHAIR PAZ: Thank you.

5 Did you capture, Elisabeth, who the first  
6 one was?

7 MS. DE JONG: I did not hear the first  
8 one.

9 COMMISSIONER SOTO: Tom.

10 CHAIR PAZ: Okay. Thank you, Tom.

11 MS. DE JONG: Thank you.

12 CHAIR PAZ: So there's a motion by Tom  
13 and second by Thomas. And I think we do this by  
14 roll call.

15 Elisabeth, do you want to do the roll  
16 call on the vote?

17 MS. DE JONG: We do, yes, so when I call  
18 your name, please let us know your vote.

19 Rod Colwell?

20 COMMISSIONER COLWELL: For.

21 MS. DE JONG: I'm sorry, I didn't hear  
22 what the answer was.

23 COMMISSIONER COLWELL: Aye.

24 MS. DE JONG: We can hear someone  
25 speaking but it's really bad connection.

1           COMMISSIONER WEISGALL:  Yeah.  She was  
2 just saying that Jonathan Weisgall, I seconded.  
3 It wasn't Thomas.

4           CHAIR PAZ:  Thomas was the first and  
5 Jonathan the second?  Okay.

6           COMMISSIONER WEISGALL:  Correct.

7           CHAIR PAZ:  Thank you.

8           MS. DE JONG:  Yes.

9           CHAIR PAZ:  Thank you.

10          MS. DE JONG:  Okay.  Rod Colwell, sorry,  
11 what was your vote, to accept or -- yes or no,  
12 accept the meeting action minutes?

13          COMMISSIONER COLWELL:  Yes.

14          MS. DE JONG:  Thank you.

15          Roderic Dolega?

16          COMMISSIONER DOLEGA:  Yes.

17          MS. DE JONG:  Miranda Flores?

18          COMMISSIONER FLORES:  Yes.

19          MS. DE JONG:  James Hanks?

20          COMMISSIONER HANKS:  Yes.  Yes.

21          MS. DE JONG:  Ryan Kelley?

22          COMMISSIONER KELLEY:  Yes.

23          MS. DE JONG:  Arthur or Ritchie Lopez?

24          COMMISSIONER LOPEZ:  I abstain.

25          MS. DE JONG:  Abstain.  Okay.

1 Luis Olmedo?

2 COMMISSIONER OLMEDO: Yes.

3 MS. DE JONG: Chair Paz?

4 CHAIR PAZ: Yes.

5 Frank Ruiz?

6 COMMISSIONER RUIZ: Yes.

7 MS. DE JONG: Manfred Scott?

8 COMMISSIONER SCOTT: Yes.

9 MS. DE JONG: Thank you.

10 Tom Soto?

11 COMMISSIONER SOTO: Yeah.

12 MS. DE JONG: And Jonathan Weisgall?

13 COMMISSIONER WEISGALL: Yes.

14 MS. DE JONG: Thank you.

15 COMMISSIONER GUZMAN ACEVES: And,

16 Elisabeth, this is Martha. I've been able to

17 join as well.

18 MS. DE JONG: Great.

19 COMMISSIONER GUZMAN ACEVES: And I

20 would --

21 MS. DE JONG: Thank you so much.

22 COMMISSIONER GUZMAN ACEVES: -- I vote in

23 support, as well, yes.

24 MS. DE JONG: Thank you.

25 CHAIR PAZ: Thank you.



1 MS. DE JONG: Okay.

2 CHAIR PAZ: Okay. So the next item on  
3 the agenda is for the Lithium Valley  
4 Commissioners to consider adopting Rules of  
5 Order.

6 And it might be helpful, Elisabeth, if  
7 you can do a share screen with the outline for  
8 what we have envisioned. And the purpose of  
9 this, again, is just to have some guidance as to  
10 how, you know, our meetings are going to be run  
11 and governed. There are different -- you can see  
12 here, this is only an outline, but if the  
13 Commissioners decide that we want to adopt Rules  
14 of Order, then the CEC Staff will work on giving  
15 us more language under each of these sections or  
16 any other sections you think need to be added.

17 Are there any questions?

18 COMMISSIONER GUZMAN ACEVES: Chair Paz,  
19 this is Commissioner Guzman Aceves again. I'm  
20 not sure if this is in the statute, actually, it  
21 may already be covering the statute, but is there  
22 a discussion on terms of the members and anything  
23 in relation to how we will coordinate those  
24 terms? Again, this may all be in the statute. I  
25 just can't recall.

1 Thank you.

2 CHAIR PAZ: Thank you. That's a really  
3 good question.

4 Elisabeth, I don't recall seeing it in  
5 the statute terms, but do you have any  
6 clarification on that?

7 MS. DE JONG: You are correct. The  
8 statute has pretty minimal language on the terms.

9 I would like to open the opportunity for  
10 Deborah Dyer, the CEC Legal -- Chief Legal Staff,  
11 to comment on this if there's anything extra to  
12 comment.

13 MS. DYER: This is Deborah Dyer.

14 Elisabeth, you've captured it. There are  
15 no terms provided for in the text of the statute.

16 CHAIR PAZ: So I have a follow-up  
17 question, Deborah. Would that mean, A, that the  
18 Lithium Valley Commissioners stay on until we  
19 finalize the report as option A, or B, unless we  
20 wanted to decide to establish, transfer, whatever  
21 reason; are those the two options?

22 MS. DYER: Those are the two options. I  
23 think that the text, the way that the statute is  
24 written, sets out a presumption that the  
25 Commission will stay in tact until the report is

1 finished and would then dissolve.

2 CHAIR PAZ: Thank you. Thank you for the  
3 clarification.

4 Are there any other questions, anybody  
5 Lithium Valley Commissioner?

6 There are several things here that I want  
7 to prep up for a potential discussion.

8 So under membership, we do have delegates  
9 as a potential item. We haven't decided, again,  
10 if want delegates, if we do not want delegates.  
11 And I think there are several things for us to  
12 consider.

13 And maybe I can invite Deborah to also  
14 give us a little bit of background on what the  
15 considerations we should keep in mind as we  
16 decide whether delegates will be allowed to  
17 participate and at what level?

18 MS. DYER: Absolutely. This is Deborah  
19 Dyer.

20 And the decision as to whether or not to  
21 allow delegates and to what extent is entirely up  
22 to the Commission themselves. There are a couple  
23 of different options. One option could be that  
24 delegates could attend for a Commissioner but  
25 neither contribute to the discussion, nor vote.

1 You could allow delegates to attend and provide  
2 discussion on behalf of their Commissioner but  
3 not vote. Of you could grant the delegates the  
4 proxy to vote for that Commissioner. And --

5 MS. DE JONG: Sorry.

6 MS. DYER: -- so that is entirely up to  
7 the Commission.

8 MS. DE JONG: I'm going to interrupt,  
9 Deborah. You broke up just a little bit there.  
10 If you could repeat the last thing you said?

11 MS. DYER: Yes. The other option is to  
12 allow delegates to also have proxy to vote for  
13 their Commissioner. But it entirely up to the  
14 Lithium Valley Commission as to how they want to  
15 set that up, though.

16 MS. DE JONG: And Chair Paz, I just want  
17 to let --

18 CHAIR PAZ: Um-hmm.

19 MS. DE JONG: -- Luis Olmedo did raise  
20 his hand.

21 CHAIR PAZ: Thank you.

22 Luis?

23 COMMISSIONER OLMEDO: I just want to just  
24 throw in the bucket of conversations that I did  
25 want to propose a need for a Co-Chair in anytime

1 that the chair may not be able to participate. I  
2 guess that's part of the discussion right here.  
3 Would it be a delegate or would it be a member  
4 that serves as the Chair? You know, my  
5 preference would be that it be a member, a  
6 Commissioner that would be serving in the role of  
7 a Co-Chair, take some of that pressure from the  
8 Chair, that there may be some situations where  
9 she may not be able to attend.

10 CHAIR PAZ: Um-hmm.

11 COMMISSIONER OLMEDO: So -- but, again,  
12 that's part of the conversation.

13 The other conversation that I hope we  
14 have is that -- and maybe just to put it out  
15 there -- is that we should be open to the  
16 evolution of this Commission. There may be times  
17 that, I mean, we maybe may want to consider being  
18 responsive, and call it what we may at such time,  
19 but we may have to be more responsive than  
20 waiting for an end product. There may be times  
21 that we may need to produce some type of a  
22 memorandum and communicate that at earlier times  
23 in the trajectory of this, of the role of the  
24 Commission, at the time that the Commission may  
25 not have a finished product. So can you add that

1 to the list of conversations?

2 CHAIR PAZ: Thank you.

3 So just focusing on, first, the Rules of  
4 Order, and point well taken, we do have Vice  
5 Chair duties, number -- down on the list, number  
6 five. And later on, during the discussion, we  
7 will have an action item on whether we want to  
8 select a Co-Chair, and then we'll be able to vote  
9 for one if we decide that we do want a Co-Chair.  
10 Should that action pass, then we will retain here  
11 the Vice Chair duties. And what I'm hearing from  
12 you, Luis, is that in those duties the Vice Chair  
13 will always be the -- or should always be leading  
14 the meeting in the case that the Chair cannot  
15 attend, even if the Chair has a delegate.

16 So if that's what I heard correctly, then  
17 I'm open. I mean, it makes sense to me. I'm  
18 open to hearing other suggestions from other  
19 members.

20 COMMISSIONER OLMEDO: Madam Chair, may I  
21 correct that?

22 CHAIR PAZ: Yes.

23 COMMISSIONER OLMEDO: I --

24 CHAIR PAZ: Go ahead.

25 COMMISSIONER OLMEDO: -- I just, I meant

1 to say, well, there are two models; right?  
2 There's the Co-Chair model and there's the Vice  
3 Chair model. So I just wanted to put it for  
4 discussion, I guess, you know?

5 CHAIR PAZ: Um-hmm.

6 COMMISSIONER OLMEDO: But if we go with a  
7 Vice Chair, I certainly, you know, fully support  
8 that. And there is the Co-Chair models that are  
9 out there that do exist as well. I know in  
10 Imperial, we have the AB 617 Co-Chair model. I  
11 don't know what that would look like, but at the  
12 very least the Vice Chair for sure.

13 CHAIR PAZ: Thank you. And I think I was  
14 using that interchangeably. But I think what you  
15 mean is a Co-Chair would be co-chairing the  
16 meetings with the Chair. And a Vice Chair will  
17 come in only in the absence of the Chair; is that  
18 the difference?

19 COMMISSIONER OLMEDO: Certainly, a Vice  
20 Chair.

21 CHAIR PAZ: Okay.

22 COMMISSIONER OLMEDO: A Co-Chair has work  
23 in instances where, for example, there's the Air  
24 District, who represent a governmental, and then  
25 there's the community Chair; right? So --

1 CHAIR PAZ: Okay.

2 COMMISSIONER OLMEDO: -- I don't know if  
3 that would work in this type of setting but,  
4 certainly, just definitely support the Vice  
5 Chair --

6 CHAIR PAZ: Okay.

7 COMMISSIONER OLMEDO: -- chairmanship as  
8 a backup to the Chair.

9 CHAIR PAZ: Thank you.

10 Is there anyone else who has any  
11 direction, receives, on the items here for the  
12 Rules of Order and what needs to be flushed out  
13 and how you would like this law to shape up?

14 MS. DE JONG: I don't see any hands  
15 raised.

16 CHAIR PAZ: Okay.

17 MS. DE JONG: Oh, Commissioner Martha  
18 Guzman Aceves.

19 COMMISSIONER GUZMAN ACEVES: Yes. Sorry  
20 if I'm -- I'm not sure if I'm answering the right  
21 question here, but I was going to go back to the  
22 delegate question.

23 CHAIR PAZ: Um-hmm.

24 COMMISSIONER GUZMAN ACEVES: And it looks  
25 like, unfortunately, there will be quite a few of



1 my PUC voting meetings conflicting with our  
2 meetings. And in that case, I wouldn't want to  
3 slow down any progress. So I would be fine,  
4 personally, with my delegate voting on my behalf.

5 MS. DE JONG: And I also see Ritchie  
6 Lopez raised his hand.

7 COMMISSIONER LOPEZ: Yeah. I'm in the  
8 same situation as the young lady. The delegates,  
9 I'm okay with having a delegate representing  
10 myself too.

11 CHAIR PAZ: Okay. Are there any other  
12 comments?

13 I mean, obviously, this is -- we don't  
14 have this written where we vote for the delegate  
15 alone as a part of it. So I think maybe what  
16 would be helpful is if we can hear from the rest  
17 of you or the majority of you, just so that the  
18 CEC Staff has some direction on what type of  
19 language to put under delegates. And then when  
20 that comes back to us, then we can vote to accept  
21 the language or not. So it would be helpful if I  
22 can hear from more of you, just so we can provide  
23 that direction.

24 So far what I'm hearing is that delegates  
25 should have voting power.

1 MS. DE JONG: Tom Soto has a hand raised.

2 COMMISSIONER SOTO: I don't think that,  
3 you know, we're going to be around long enough,  
4 under two years, to not have delegates be given  
5 that right. I mean, obviously, we have  
6 colleagues on the Commission who we respect in  
7 their opinion. So I think it would be perfectly  
8 appropriate that their designee extend their  
9 right to vote as a member of the Commission  
10 during those votes. And given the place where,  
11 you know, some may be like at the Public  
12 Utilities Commission, we can't interfere with  
13 that.

14 So I would agree that delegates should be  
15 given that right.

16 COMMISSIONER FLORES: I agree.

17 MS. DE JONG: That "I agree" came from  
18 Commissioner Flores.

19 I see Jonathan Weisgall has a hand up.

20 COMMISSIONER WEISGALL: Same. Makes  
21 sense. Makes sense. I agree.

22 CHAIR PAZ: So hearing that the leaning  
23 of the Commission Members is to allow for proxy  
24 vote, another item, maybe, that we should  
25 consider is whether the delegate will be from the

1 agency? For example, if you were representing --  
2 if you were appointed to represent a certain  
3 agency, should your delegate be from the same  
4 agency or do we have the autonomy to just select  
5 whomever we want? I think it's one of the  
6 considerations.

7           And the second one, for the purposes of  
8 stability, should we allow a different delegate  
9 each time we can't be there or should we make  
10 sure that it's always the same delegate that's  
11 stepping in for any missing member?

12           MS. DE JONG: We have a hand raised from  
13 Luis Olmedo.

14           CHAIR PAZ: Please.

15           COMMISSIONER OLMEDO: Yeah. I'm sorry.  
16 Thank you for recognizing me.

17           So I'm in favor of the Commissioners  
18 selecting their designee, their delegate, but  
19 every Commissioner is -- has its own situation,  
20 so I support the idea of each Commissioner  
21 identifying. However, I could see that, the  
22 importance of having some parameters of what that  
23 looks like, so that we don't change, necessarily,  
24 completely the characteristics of and the effort  
25 put into selecting the Commissioners. So I would

1 imagine that we would want to set some  
2 parameters.

3 I mean, the easiest seems, just select  
4 within your own organization, but that's --  
5 certainly, it's something that we -- that I would  
6 be in favor of.

7 CHAIR PAZ: Thank you. Thanks.

8 Tom, you're on mute. You're on mute,  
9 Tom.

10 COMMISSIONER SOTO: The integrity of the  
11 legislation is really based on the appointing  
12 authorities of the agencies. And so my thought  
13 is that we probably want, like Martha's -- the  
14 PUC. So it's likely that the intent of the  
15 legislation is to have a member of the PUC who  
16 has that authority on her behalf to represent  
17 those views.

18 In my case, if I couldn't make three or  
19 four meetings or -- and I knew that in advance, I  
20 would probably go back to the speaker who  
21 appointed me and ask if they would be willing to  
22 appoint an alternate, a delegate, you know, that  
23 I know we could rely on to speak on his behalf at  
24 the meetings.

25 So I think it needs to -- the delegate

1 should probably be in alignment with the  
2 legislation, which is agency representation,  
3 speaker representation, and so forth.

4 CHAIR PAZ: Thank you.

5 Anybody else?

6 MS. DE JONG: I don't see any other hands  
7 raised.

8 CHAIR PAZ: Thank you.

9 And then one item, maybe, that I didn't  
10 hear but it might have been implied in the  
11 discussion is to have consistency of who that  
12 delegate is. So if we're allowing -- if it's  
13 going to be Person Y, it's always going to be  
14 that person, and we won't be shifting between  
15 people; is that correct?

16 MS. DE JONG: I don't see any hands  
17 raised.

18 CHAIR PAZ: Okay. So I think that maybe  
19 gives us a little bit of direction. I don't know  
20 if Deborah is going to be the one drafting this.  
21 But hopefully this gives the team direction.

22 I don't know if there's any other  
23 portions on this outline that Members of the  
24 Commission would like to discuss a little  
25 further?

1 MS. DE JONG: I don't see any hands  
2 raised.

3 CHAIR PAZ: Okay. Thank you.

4 So before we vote, again, we are going to  
5 be opening up for public comment.

6 And just a reminder to the members of the  
7 public, if you can direct your comments  
8 specifically to the item we discussed, which is  
9 the Rules of Order? If you have other general  
10 comments, we do have a section later in the  
11 agenda for general comments.

12 Elisabeth?

13 MS. DE JONG: Thank you. I do want to  
14 let the public know that you are able to access  
15 this document, the Rules of Order Outline, in the  
16 Lithium Valley Commission's docket, that's 20-  
17 Lithium-01.

18 And if you're joining us by Zoom on your  
19 computer, please use the raise-hand feature. If  
20 you've called in, please dial star nine to raise  
21 your hand and then star six to un-mute your phone  
22 line. We will start with the raised hands and  
23 then go to the phone.

24 I don't see any raised hands or any  
25 comments from the phone.

1 CHAIR PAZ: Thank you.

2 At this time, I will take a motion, and  
3 the motion --

4 COMMISSIONER SOTO: Move to approve.

5 CHAIR PAZ: -- would be to --

6 COMMISSIONER SOTO: Move to approve.

7 CHAIR PAZ: -- consider the Rules of  
8 Order.

9 COMMISSIONER SOTO: I'll move to approve.

10 CHAIR PAZ: Thank you.

11 COMMISSIONER KELLEY: I'll second.

12 CHAIR PAZ: So I think Ryan Kelley to  
13 move the motion. And who was the second?

14 COMMISSIONER SOTO: It was Mr. Soto's  
15 motion, R. Kelley, second.

16 COMMISSIONER SOTO: Yeah. Either way.

17 CHAIR PAZ: Okay. I keep it -- it's hard  
18 to see who speaks first --

19 COMMISSIONER SOTO: Sorry.

20 CHAIR PAZ: -- on the monitor. So Mr.  
21 Soto makes the motion and Supervisor Kelley  
22 seconds it.

23 And do we want to roll call, please,  
24 Elisabeth?

25 MS. DE JONG: Thank you.

1           So when I call your name, please indicate  
2 yes or no to approve having the CEC continue to  
3 formulate the Rules of Order to be presented at a  
4 future meeting for approval.

5           Rod Colwell?

6           COMMISSIONER COLWELL: Yes.

7           MS. DE JONG: Roderic Dolega?

8           COMMISSIONER DOLEGA: Yes.

9           MS. DE JONG: Miranda Flores?

10          COMMISSIONER FLORES: Yes.

11          MS. DE JONG: Martha Guzman Aceves? If  
12 you're speaking, I cannot hear you. Okay.  
13 You'll abstain on that.

14          James Hanks?

15          COMMISSIONER HANKS: Yes.

16          MS. DE JONG: Ryan Kelley?

17          COMMISSIONER KELLEY: Yes.

18          MS. DE JONG: Ritchie Lopez?

19          COMMISSIONER LOPEZ: Yes.

20          MS. DE JONG: Luis Olmedo?

21          COMMISSIONER OLMEDO: I apologize. I had  
22 to attend an urgent matter, so I did not hear the  
23 entire motion, so I will abstain, unless somebody  
24 wants to repeat it for me. I don't want to hold  
25 the vote.



1 MS. DE JONG: This motion is approve or  
2 deny having CEC Staff create a Rules of Order  
3 document to be approved at a future meeting, so  
4 in its full and complete form at a future  
5 meeting.

6 COMMISSIONER OLMEDO: Thank you. I  
7 agree.

8 MS. DE JONG: Okay.

9 Chair Paz?

10 CHAIR PAZ: Yes.

11 COMMISSIONER GUZMAN ACEVES: Sorry. I  
12 apologize if I missed that roll call. This is  
13 Commission Guzman Aceves. But I am a yes, as  
14 well.

15 MS. DE JONG: Okay. Thank you.

16 Frank Ruiz?

17 COMMISSIONER RUIZ: Yes.

18 MS. DE JONG: Manfred Scott?

19 COMMISSIONER SCOTT: Yes.

20 MS. DE JONG: Tom Soto?

21 COMMISSIONER SOTO: Yeah.

22 MS. DE JONG: And Jonathan Weisgall?

23 COMMISSIONER WEISGALL: Yes.

24 MS. DE JONG: That is a unanimous vote  
25 for yes to complete the rules of order for a

1 future meeting.

2 MS. DYER: Elisabeth, can I interject on  
3 the item?

4 Since the -- I do not think that the  
5 public can see the chat that the Commissioners  
6 are talking on. If you do have substantive  
7 comments about an item that is being discussed,  
8 if you would please state that comment orally.  
9 The chat is fine for, you know, other things.  
10 But if we can let the public have a full view of  
11 what is happening up there on the virtual dais?  
12 Thanks.

13 CHAIR PAZ: Thank you, Deborah.

14 MS. DE JONG: Okay. Deborah, would you  
15 like us to read any messages that came in already  
16 for this or do you want us to just do that going  
17 forward?

18 MS. DYER: I think just going forward.  
19 The chats were not substantial and wouldn't -- it  
20 doesn't look like it would change a vote. It was  
21 just background discussion.

22 MS. DE JONG: Okay. Thank you. So the  
23 motion passes.

24 CHAIR PAZ: Thank you.

25 So the next item is the possible election

1 of the Vice Chair.

2 And I just have a clarification here,  
3 Elisabeth. Were we going to do the vote yes or no  
4 whether we want the Vice Chair and then the  
5 nominations since we --

6 MS. DE JONG: Yes.

7 CHAIR PAZ: -- I don't recall if we voted  
8 on that.

9 MS. DE JONG: So, okay, we can certainly  
10 do it that way, to vote yes or no on whether to  
11 elect a Vice Chair today. And then do the  
12 nomination and election of the Vice Chair if that  
13 suits the Commission.

14 CHAIR PAZ: Okay. So let's do that.

15 So the way we're approaching this is,  
16 first, any discussion on the election of the Vice  
17 Chair? I know we talked a little bit about it at  
18 the last meeting but I still want to give the  
19 Members of the Commission some time in case you  
20 have any thoughts or comments on electing a Vice  
21 Chair.

22 MS. DE JONG: We have a raised hand from  
23 Luis Olmedo.

24 CHAIR PAZ: Luis?

25 COMMISSIONER OLMEDO: Yeah. So Madam

1 Chair, has there been -- is the next step to have  
2 discussion and then put forth nominees?

3 CHAIR PAZ: Yes. First we want to  
4 identify that -- and vote that everyone is -- or  
5 the majority, right, that is in favor of having a  
6 vice chair, so we're having -- have that  
7 discussion, open it to public comment, then come  
8 back for a vote. And then we'll take  
9 nominations, have a discussion, open it for  
10 public comment, and then vote.

11 COMMISSIONER OLMEDO: So may I comment at  
12 this time?

13 CHAIR PAZ: Yes.

14 COMMISSIONER OLMEDO: So in the previous  
15 meeting there was a discussion and nominees put  
16 forth. So I just want to recognize that there  
17 was a discussion previously and whether we want  
18 to pick up that discussion of the two nominees at  
19 that time. I don't know if there were more than  
20 two. I recall there was two. So I just want to  
21 give recognition to that discussion then and if  
22 we wanted to pick up that discussion for this  
23 Vice Chair conversation?

24 CHAIR PAZ: Thank you. I do not recall,  
25 and I don't think I saw it in the action minutes,

1 about the Vice Chair. I know we had the  
2 discussion about the Chair and there were two  
3 nominees and a vote. But, again, unless --

4 COMMISSIONER OLMEDO: Madam Chair, let me  
5 clarify. It's just bringing forth the popularity  
6 of the nominees --

7 CHAIR PAZ: I get it.

8 COMMISSIONER OLMEDO: -- nominated. So  
9 just wanted to recognize that we had had that  
10 discussion and that Madam Chair was selected.

11 CHAIR PAZ: Um-hmm.

12 COMMISSIONER OLMEDO: But there may have  
13 been other nominees. I knew that Ryan --

14 CHAIR PAZ: Um-hmm.

15 COMMISSIONER OLMEDO: -- Commissioner  
16 Kelley was nominated. I don't recall if there  
17 were others nominated. I just want to recognize  
18 that we had had a discussion then. And if --  
19 then I'm in favor of recognizing that discussion  
20 then and bringing it to a conversation today;  
21 right? So that's all.

22 CHAIR PAZ: Well, thank you. So, yes,  
23 you're correct, Supervisor and Commissioner  
24 Kelley was nominated at that time for the Chair.

25 MS. DE JONG: You have a hand raised from

1 Jonathan Weisgall.

2 COMMISSIONER WEISGALL: You know --

3 CHAIR PAZ: Jonathan?

4 COMMISSIONER WEISGALL: -- I mean, maybe

5 I agree with Luis. That was a relevant

6 discussion. We were deciding then on a Chair.

7 And, actually, I think it was a rather close

8 vote. So, Silvia, if you want to entertain, I

9 mean, I would be perfectly happy putting forward

10 Ryan as a Vice Chair because he seemed to enjoy,

11 as Luis said, support from a number of folks. So

12 let me just make that -- let me put that name

13 forward, if I could?

14 CHAIR PAZ: Okay. Thank you.

15 COMMISSIONER SOTO: I would second that.

16 This is Tom.

17 CHAIR PAZ: Thank you. So there's a

18 motion and a second. And I guess I'm going back

19 on just the process. So we're going to do both

20 at the same time. We're voting that we are going

21 to have the Chair. And then we're nominating

22 Commissioner Ryan Kelley with Jonathan making the

23 motion and Tom seconding. Okay.

24 Any other discussion?

25 MS. DE JONG: I want to let you know that

1 Rod Colwell said in the chat that he agrees for  
2 Ryan of the Vice Chair, and that you have a hand  
3 raised from Ritchie Lopez and from Luis Olmedo.

4 CHAIR PAZ: Thank you.

5 Mr. Lopez, would you like --

6 COMMISSIONER LOPEZ: Yes. Since we just  
7 passed the Rules of Order, we already approved  
8 the Vice Chair in that, didn't we?

9 MS. DYER: This is Deborah.

10 The last motion was to move forward  
11 populating that Rules of Order. And if the  
12 Lithium Valley Commission decides that they would  
13 like to elect a Chair, we will reflect that in  
14 the Rules of Order that we bring back to you at a  
15 future meeting. But that -- there was nothing  
16 said in stone in that proposed draft.

17 CHAIR PAZ: Thank you, Deborah.

18 MS. DE JONG: We still have a hand raised  
19 from Luis Olmedo.

20 CHAIR PAZ: Luis?

21 COMMISSIONER OLMEDO: Same question that  
22 was asked in the previous meeting. I was  
23 assuming that we're going to ask that, in this  
24 case, the nominee, Commissioner Kelley, if he's  
25 interested; correct? Before we take the vote.

1 CHAIR PAZ: Thank you.

2 Supervisor Kelley?

3 COMMISSIONER KELLEY: Yeah. I'd be happy  
4 to help.

5 CHAIR PAZ: Would you accept the  
6 nomination?

7 COMMISSIONER KELLEY: I'd be happy to  
8 help.

9 CHAIR PAZ: Thank you.

10 Any other discussion before we open it to  
11 public comment?

12 MS. DE JONG: There are no hands raised.

13 CHAIR PAZ: Thank you.

14 So can we open it to public comment,  
15 Elisabeth, please?

16 MS. DE JONG: Yes. Hold on one second.

17 Okay.

18 If you're joining via Zoom on your  
19 computer, please use the raise hand feature. If  
20 you've called in, dial star nine to raise your  
21 hand and then star six to un-mute your phone  
22 line. We'll start with the raised hands on the  
23 Zoom application. I don't see any comments  
24 coming in.

25 CHAIR PAZ: Okay. Thank you. So we have



1 a motion by, if I remember this correctly, we  
2 have a motion by Jonathan and a second by Tom.  
3 And we can take the vote now.

4 So can you do the roll call for the vote,  
5 please, Elisabeth?

6 MS. DE JONG: Yes. So when I call your  
7 name, please indicate yes or no to electing Ryan  
8 Kelly as the Vice Chair for the Lithium Valley  
9 Commission.

10 Rod Colwell?

11 COMMISSIONER COLWELL: Yes.

12 MS. DE JONG: Roderic Dolega?

13 COMMISSIONER DOLEGA: Yes.

14 MS. DE JONG: Miranda Flores?

15 COMMISSIONER FLORES: Yes.

16 MS. DE JONG: Martha Guzman Aceves?

17 COMMISSIONER GUZMAN ACEVES: Yes.

18 MS. DE JONG: James Hanks?

19 COMMISSIONER HANKS: Yes.

20 MS. DE JONG: Ryan Kelley?

21 COMMISSIONER KELLEY: Yes.

22 MS. DE JONG: Arthur Lopez?

23 COMMISSIONER LOPEZ: Yes.

24 MS. DE JONG: Luis Olmedo?

25 COMMISSIONER OLMEDO: Yes.

1 MS. DE JONG: Chair Paz?

2 CHAIR PAZ: Yes.

3 MS. DE JONG: Frank Ruiz?

4 COMMISSIONER RUIZ: Yes.

5 MS. DE JONG: Manfred Scott?

6 COMMISSIONER SCOTT: Yes.

7 MS. DE JONG: Tom Soto?

8 COMMISSIONER SOTO: Yes.

9 MS. DE JONG: And Jonathan Weisgall?

10 COMMISSIONER WEISGALL: Yes.

11 MS. DE JONG: That is a unanimous vote

12 yes for Ryan Kelley as the Vice Chair.

13 CHAIR PAZ: Thank you.

14 Congratulations Ryan.

15 COMMISSIONER KELLEY: Yay.

16 CHAIR PAZ: Okay. So the next portion of

17 our agenda is to have a discussion around what we

18 would like to see beyond those items that are

19 written out in the legislature. So as you

20 recall, the legislature has very clear parameters

21 about the things that this Commission is going to

22 be investigating and making recommendations on.

23 And what I wanted us to have a conversation about

24 right now is trying to see a vision; right? And

25 in order -- I know that those instructions or a

1 question was sent via email to us.

2           But just to get us in the space, I mean,  
3 if you can imagine it's the Year 2035; right? We  
4 completed the report and, you know, the  
5 extraction of lithium is a success. What will it  
6 look like? What will it look for the local-  
7 regional environment? And what will it look like  
8 for the people living around the lithium  
9 resource?

10           So again, this is just an opportunity for  
11 us to start framing what we would like to see,  
12 what our intentions are, and capturing those  
13 items to guide the report.

14           So Commissioner Soto?

15           COMMISSIONER SOTO: You know, that's a  
16 really broad and robust question and I think it  
17 deserves a lot of thought. And there's a number  
18 of people online that, you know, we've had  
19 conversations prior to this for many years on not  
20 only this Commission and the goals that we're  
21 discussing could do to help the people of  
22 Imperial and Salton Sea areas, but really become  
23 a focal point globally on how to properly,  
24 responsible, and sustainably create economic  
25 valley while mining a natural resource.

1           And granted, there's probably a number of  
2 people on this Commission and in the audience who  
3 are not necessarily advocates for, you know, the  
4 extraction of resources. You know, certainly  
5 I've led efforts in the past to stop mining in  
6 some areas. But here we have an opportunity to  
7 take a very, very rare mineral that is mainly,  
8 you know, a byproduct of an existing natural  
9 resources, which is heat and geothermal activity,  
10 that could be converted into true economic value  
11 for the people of the United States, California,  
12 and certainly the area of Imperial Valley.

13           So if five, ten years from now we can  
14 look back and see what we've done, I think the  
15 first and foremost priority is that whatever it  
16 is that we do helps to improve and increase the  
17 quality of life of the communities that we're  
18 serving within this area immediately in the  
19 surrounding, let's call it the beneficial zone.

20           Two, that we use this as a vehicle to  
21 bookend the fostering and the incubation of this  
22 resource so that it could achieve that end of  
23 improving quality of life, bringing good  
24 economics, bringing healthcare, bringing access  
25 to improved education and so forth, and we

1 bookend it by supporting innovative regulatory  
2 frameworks and legislature.

3           You know, Assemblymember Garcia now has  
4 his Lithium Economy Act which is a content  
5 standard for California-based or produced  
6 lithium. That is a nice bookend. That gives a  
7 floor or economics for investors to come in and  
8 invest in the area knowing that the state is  
9 mandating that for every storage unit, every  
10 electric vehicle, 35 percent of that storage  
11 capacity will be the result of lithium produced  
12 in California. That's a huge mandate that will  
13 give reason for folks to invest.

14           The other bookend is to de-risk it  
15 further by getting the State of California and  
16 the people of California to provide industrial  
17 development bonds in debt and grants that could  
18 help to give a greater multiple for those folks  
19 that are leaning investments into this area. And  
20 the is no small, you know, dollar value. We're  
21 talking about hundreds of millions of dollars,  
22 perhaps billions of dollars, to come into the  
23 area to help to develop all of this.

24           And, finally, we have to recognize that  
25 we have to do this now. We can't wait any longer

1 because, as some of the data that's going to be  
2 shown later on, there's no slipping back with  
3 respect to the amount of lithium that is needed  
4 to keep the fourth industrial revolution, the  
5 information technology movement, the rise of  
6 electrification and mobility going. It's going  
7 to continue to move forward. It's going to  
8 continue to move forward at a higher velocity now  
9 that there's some form of recovery occurring with  
10 the vaccines out, the pandemic becoming more  
11 manageable and something that we're learning to  
12 live with. This recovery is going to accelerate  
13 the demand for more storage capacity. And we're  
14 going to see even more so on the stationary side  
15 for industrial, commercial, and residential.

16           So all of that said, we have great models  
17 in history that we could look at with other  
18 sectors and other industries. And we have a lot  
19 of mistakes that were made then. We could look  
20 back on that history and say, this is not how  
21 we're going to do it, we're going to do it this  
22 way, responsibly, sustainable, and with the level  
23 of compassion and concern for the communities  
24 that we serve so that we can generate high-wage,  
25 high-skilled jobs and increase access to better

1 healthcare and education, all while doing so.

2           So that's why I'm here. This is one of  
3 the things that -- many of the things that I  
4 would say, you know, we want to embed into the  
5 culture of this discussion.

6           Thank you for allowing me this time.

7           CHAIR PAZ: Thank you.

8           And I see Commissioner Colwell.

9           COMMISSIONER COLWELL: Yeah. Thank you,  
10 fellow Commissioners and all. I'd just like to  
11 reflect. I think Tom well and truly covered what  
12 I had planned to say, so thanks for that Tom.

13           Look, I think beyond just lithium  
14 recovery/extraction, we're talking about an  
15 industry here that, you know, we have an  
16 opportunity to create the world's first clean  
17 energy hub as such. It's not just, you know, the  
18 most sustainable form of lithium mining, if you  
19 like, or recovery. It's actually cathode to  
20 battery to auto, providing clean energy to  
21 provide, you know, energy to those industries, et  
22 cetera.

23           And when I say clean, I know that I had a  
24 few questions here that, you know, it's --  
25 there's no correlation between the Salton Sea as

1 such as to say it's water and receding, say to  
2 lithium extraction. It's from 6,000 to 7,000  
3 feet below the sea. It's clean. There's no  
4 byproducts or hazardous materials used in that  
5 process. And that water is reinjected into the  
6 field.

7 I think, you know, reflecting on Tom,  
8 jobs is what it's about. And this is a long-term  
9 resource. It's not, you know, respectfully, a  
10 project, say, where there's big construction jobs  
11 and everyone walks away. This is a high  
12 employment, you know, as geothermal, as Jonathan  
13 is probably going to mentioned, the highest  
14 employer, private employer in Imperial Valley is  
15 geothermal now. When you consider cathode and  
16 battery and the thousands of jobs, we're talking  
17 about our kids and grandkids and so on, this is a  
18 50- or up to 64-year resource and beyond. It's a  
19 very robust opportunity.

20 So to move forward, I think the focus of  
21 the fed -- you know, the California government  
22 has done a great job, and the agencies, federal  
23 government now really actively involved. We're  
24 pretty keen to hear about Earth Day coming up. I  
25 think the U.S. supply chain is absolutely -- is



1 focusing on Imperial Valley. There's a wonderful  
2 opportunity to do these green, clean,  
3 environmental-sustainable development.

4 Thank you.

5 CHAIR PAZ: Thank you.

6 Commissioner Weisgall?

7 COMMISSIONER WEISGALL: Just a couple of  
8 points. I think that both Rod and Tom covered it.  
9 You know, I'd like to look back, you know, in  
10 2035 at two other points.

11 Picking up on Rod's would be this larger  
12 supply chain flow, you know, a real battery  
13 industry ecosystem that will have started with  
14 lithium production.

15 And then, secondly, I'd like to look back  
16 and say that lithium became (indiscernible)  
17 Imperial County's decades-old geothermal power  
18 industry that would create, also, new jobs, like  
19 the battery industry ecosystem. And by having  
20 this additional source of revenue would lower the  
21 product-based load geothermal power for the  
22 benefit of California customers.

23 So, really, new local economic benefits  
24 and revenues and opportunities, a local workforce  
25 expansion, together with more geothermal power

1 expansion, in addition to everything we're  
2 looking at for lithium itself.

3 CHAIR PAZ: Thank you.

4 I think it's important that these  
5 principles and ideals of what we can see beyond  
6 just the extraction of the lithium but the actual  
7 results and impacts in our communities, in the  
8 industry and the clean energy world, that all of  
9 those are at the forefront as we consider  
10 approaching this report.

11 Commissioner Olmedo?

12 COMMISSIONER OLMEDO: This is, obviously,  
13 a very broad conversation and a really great  
14 opportunity that we have before us.

15 And let me just start off by saying that  
16 I think we all want the dream, right, of a  
17 sustainable, thriving economy, jobs, everything  
18 that has been discussed, some of that that was  
19 discussed on the public comment as well. The  
20 reality here is that we have seen international  
21 trade promises that have yet to be delivered,  
22 solar promises that have yet to be delivered,  
23 water promises, many things that are yet to be  
24 delivered, housing, geothermal, wind. There have  
25 been a lot of promises that were supposed to have

1 been delivered to the most economically-  
2 depressed, disadvantaged areas. Perhaps that  
3 promise is still there and those opportunities  
4 are there.

5           And, really, pleased and grateful to  
6 those who had invited me to this Commission to be  
7 part of this table because I think now we can  
8 have a direct conversation with the many  
9 stakeholders that sit at this table. Because  
10 some of you may not know this, because a lot of  
11 times the negotiations only go as far as those  
12 who claim and, perhaps, really hold the key to  
13 permits, hold the key to political influence,  
14 investment opportunities, and so on; right?

15           But in reality it's we need to pivot that  
16 to make sure this is a negotiation with  
17 communities, to assure that these promises that  
18 perhaps some of you may feel, hey, we put that  
19 promise on the table but that promise was kept in  
20 a very small percentage of beneficiaries. Some  
21 of you may think we did our part. But I do want  
22 to push the obligation further and say, we're all  
23 in this together so that business and the  
24 opportunity, and the opportunity of lithium, and  
25 the opportunity for geothermal to expand to

1 lithium, and any new business that comes that  
2 look beyond; right?

3           We're living at a time where we talk  
4 about inequities have been exposed. Well, we all  
5 kind of know that. We've always known about  
6 them. We just know that we can no longer be  
7 sustainable by ignoring them. And the pandemic  
8 has hit our economy tremendously hard and it's  
9 going to cost us in years to come. Some of the  
10 businesses won't be able to come back because of  
11 that.

12           So this is a great opportunity to make  
13 sure that that promise that some of you may have  
14 already made for those investments actually,  
15 verifiably, are becoming returns to the broader  
16 communities. What does that mean? Good jobs,  
17 good paying jobs.

18           It was mentioned earlier in the public  
19 comment, apprenticeship programs, and making sure  
20 that investments are actually visible in our  
21 economically-depressed communities.

22           I don't want to put, on the spot,  
23 geothermal. But because geothermal is a major  
24 component to the lithium extraction, geothermal  
25 has existed here for decades. And so, again, I

1 think in all fairness, geothermal might feel,  
2 hey, we've done our part. Again, I think this is  
3 an opportunity to recalibrate and see, hey,  
4 perhaps you did, but those benefits aren't  
5 reaching the neighborhoods, aren't reaching the  
6 most economically-depressed areas, aren't even  
7 reaching the neighborhoods that are the closest  
8 to where these operations are happening.

9           So it's going to be important that we  
10 have those conversations. Does a community want  
11 jobs, benefits, so on? Yeah, I think we all  
12 want that; right? But we've got to make sure  
13 that we, again, are recalibrating and addressing  
14 through this great opportunity, because a lot of  
15 times we don't have that opportunity.

16           And I think it's going to be important to  
17 talk about the waste streams. Is enough being  
18 done? I've always publicly and, you know, very  
19 generously have mentioned that our local policies  
20 at the local level have not caught up in the last  
21 100 years to make sure that they are protecting  
22 our ecosystem, our environment, the public. And  
23 so those have also been situations where industry  
24 is not sustainable because it operates in lower  
25 standards that were designed, perhaps, for small

1 operations, for historical, you know, not large-  
2 scale operations. And because they haven't  
3 caught up, they seem like, on the front end, a  
4 good deal but in the back end result in  
5 tremendous cost.

6           So I think it's going to be important  
7 that that becomes part of the conversation. And  
8 some of that was, I think, in the more eloquent  
9 language that Commissioner Soto brought up as  
10 well.

11           And again, you know, there's state and  
12 federal policies, I know that some of these  
13 sometimes are burdening policies and it would be  
14 great if they didn't exist, right, for -- you  
15 know, if we had much greater responsibility. But  
16 the truth is that a lot of these policies, it's  
17 really the best tool that disadvantaged  
18 communities have or environmental justice  
19 communities have for protections because a lot of  
20 times they don't have the resources. They don't  
21 have the CEQA or the NEPA attorneys. They don't  
22 have the necessary capacities and abilities to be  
23 able to represent themselves in the normal  
24 process that exists.

25           So again, you know, again, there's a menu

1 of conversations and -- but, you know, that's --  
2 certainly, we'd like to have opportunities to  
3 have those conversations as part of the  
4 discussions and goals.

5 CHAIR PAZ: Thank you.

6 Commissioner Kelley?

7 COMMISSIONER KELLEY: Thank you.

8 In goals, hey, you know, I hear Luis and  
9 Rod and Mr. Soto. I can agree in all aspects  
10 that whatever we do we need to promote this. The  
11 opportunity is now. I've seen opportunities like  
12 this rise and fall. I do want to protect our  
13 community and ensure that we're going to be doing  
14 this in a safe and efficient manner. But there  
15 can be too much attention and it can drive away  
16 that opportunity.

17 So I am eager to work with all of you to  
18 make that happen. But the goal has to be that we  
19 set the climate for this to be successful. And  
20 I've seen this on the cusp of having that kind of  
21 attention before, not so much lithium, although  
22 the conversation has circulated and now focused  
23 on lithium. But this is one more opportunity  
24 that I don't think we should come up with  
25 something that's going to be delayed or

1 restrictive beyond what we already have in place.  
2 I think that we can all work out to make sure  
3 that this is going to be a safe and secure  
4 development for California, the nation, and the  
5 world.

6           But I am concerned about time. And my  
7 goal would be a smart objective that would have  
8 time limits on it.

9           CHAIR PAZ: Thank you, Commissioner  
10 Kelley.

11           I don't see any other hands. But I do  
12 appreciate how much you've leaned into the  
13 beginning of this discussion. And I say the  
14 beginning because, as we move forward, we will  
15 better be able to, you know, clarify and identify  
16 what it is that's bringing us together.

17           And just to echo some of the things that  
18 I heard in terms of, you know, maybe adopting  
19 principles, right, about what we intend for the  
20 outcome to be under the principles of equity,  
21 sustainability, responsible practices being some  
22 of them that came to mind as I heard you all  
23 speak.

24           And also having the intentionality. I  
25 mean, yes, we're going to create jobs, but we



1 are -- our communities have certain barriers;  
2 right? And being aware of what those barriers  
3 are, whether it's language barriers or other  
4 access barriers to the types of jobs that are  
5 going to be providing, and ensuring that there's  
6 pathways for them so that they can fully realize  
7 economic advancement and mobility through this.

8 I think at the end of the day I'm an  
9 optimist. And I believe that we can have win-  
10 win, and with open communities, understanding of  
11 who our target beneficiary is, I believe we can  
12 achieve this.

13 So, again, thank you. And we hope that  
14 this, these values and principles and goals, can  
15 help us move forward and with actionable steps  
16 along the way so we don't have to wait until the  
17 end to start creating action and building that  
18 momentum. So thank you, everyone.

19 And we will now also hear from the  
20 public. I see a hand. Before we do that -- no?  
21 Okay. Thank you. We will now open it to public  
22 comment on this item.

23 MS. DE JONG: All right. Thank you.

24 So if you're joining us via Zoom on your  
25 computer, please use the raise-hand feature. And

1 if you called in, please dial star nine to raise  
2 your hand, and then star six to un-mute. We'll  
3 used those raised hands first and then go to the  
4 folks on the phone.

5 I don't see any hands raised or other  
6 comments trying to come in. Okay. I think we  
7 can go on to the next item.

8 CHAIR PAZ: Thank you.

9 And so I think this is maybe -- the  
10 conversation before was a good segue into  
11 tackling and envisioning more what the general  
12 structure of the report that we're tasked to  
13 complete can look like, and then what the  
14 approach to tackling the items in the report  
15 might be. Generally, I think we have flexibility  
16 in the report structure. If we can provide a  
17 report that's detailed, easy for the legislature  
18 to read and understand, and that's actionable, I  
19 think we will have done our job.

20 But again, I wanted to open it to  
21 conversation from any of the Commissioners who  
22 see -- if you have any ideas on what you would  
23 like to see in the report or how you think the  
24 report should be structured at this point.

25 And just as a reminder, that the CEC will

1 be providing some technical assistance in putting  
2 the report together, so we're not alone in this.

3 So we can open it for discussion now.

4 Commissioner Soto?

5 COMMISSIONER SOTO: Sure. I think, you  
6 know, what you had asked before is a really great  
7 opening for the report. You know, you start with  
8 a vision of what we want and what we believe the  
9 community deserves and how we execute it properly  
10 with minimum environmental impact, maximum  
11 benefit for the community, and you know, that's  
12 kind of like the opener.

13 But I think that there are certain --  
14 there's a framework that maybe we should  
15 consider. One would be the economics.

16 Uh-oh, I just lost you guys. Can you  
17 hear me still?

18 CHAIR PAZ: Yes, we can hear you.

19 COMMISSIONER SOTO: Okay. Hold on a  
20 second. I moved my mouse and that was all she  
21 wrote. Here we are.

22 CHAIR PAZ: Okay. You're back.

23 COMMISSIONER SOTO: You know, I have this  
24 brand new electronic mouse and I haven't gotten  
25 it yet.

1           And so it would be a regulatory framework  
2 that would have to take into account the  
3 economics, as well as, you know, not just the  
4 economics of whom the industry is going to give  
5 benefit to, i.e. the OEMs, anybody that uses or  
6 any sector that uses lithium-ion as storage. You  
7 know, my cell phone, the iPad that I'm watching  
8 this on, my Apple computer that's sitting here,  
9 all of it is lithium-ion.

10           So I think that there has to be a clear  
11 understanding from the what the market demand is  
12 and how it's going to continue to grow. I just  
13 think that part of our mandate is to dispel any  
14 notion or myth that this is an interim play, oh,  
15 that there's going to be something around the  
16 corner and why are we spending so much resources  
17 on it? That's not going to be the case. This  
18 is, you know, three generators of culling to  
19 finally get to the point where we can have  
20 electric vehicle range and talk-time range and so  
21 forth that is making the difference to allow us  
22 to do what we want to do here.

23           So I think, you know, it really has to go  
24 to market while not compromising but, indeed,  
25 bringing benefit to the quality of life and the

1 people of Imperial Valley, and then outlining the  
2 legislature and regulatory framework that  
3 incentivizes one to invest.

4           And the reason why Rod could do this with  
5 thermal resources is because he believes with  
6 strong conviction that not only is there a market  
7 there, but he could get folks to back him  
8 capital-wise to invest. You have one of the most  
9 wealthiest individuals in the world that owns  
10 Berkshire Hathaway committed to partnering with  
11 California. So there's reasons on both sides of  
12 the wealth spectrum that are pushing this.

13           So I think it's market demand, economics,  
14 legislative and regulatory framework, and then  
15 above all the community benefit which is the  
16 priority. All of this needs to go and lead up to  
17 how does this transform, in a meaningful way, in  
18 a beneficial way, people in the state of  
19 California and people in the Imperial Valley as a  
20 resource to rely on to continue to build not just  
21 a survivable community but a thriving community  
22 where you can build community wealth as a result  
23 of this unique resource and, hopefully, the  
24 leadership of this Commission?

25           That's all.

1 CHAIR PAZ: Thank you.

2 Are there any other comments?

3 COMMISSIONER WEISGALL: Are we talking  
4 here -- oh, go ahead Rod.

5 COMMISSIONER COLWELL: All right,  
6 Jonathan.

7 Yeah, I think just backing up, Tom's  
8 statement there, I think the structure itself,  
9 it's really regulatory. Community engagement, I  
10 think the points that Luis and Silvia brought up  
11 are very, very, you know, very important, so a  
12 structure around that. Maybe I'm getting to the  
13 workgroups.

14 But, you know, and moving on to the  
15 workgroups and so forth, the report, or both is  
16 really sort of streamlining something that's in  
17 place. You know, permitting is very important.

18 The tax credit situation, I think, to  
19 Tom's point, you know, for us to get a battery  
20 manufacturer here, and we're all collectively  
21 working and want this to happen, we're competing  
22 with Georgia and the Gulf Coast, really, you  
23 know? And we've got to be competitive to entice  
24 someone, so that might mean, you know, a five- or  
25 ten-year-type tax exemption to get -- attract

1 business.

2           And then we've got to look about the  
3 broader, sort of community side of it, meaning  
4 that future accommodations, you know, if you  
5 think about a battery plant, you're talking up to  
6 2,500 to 3,000 workers; right? You know, so  
7 you've got to think sensibly about accommodation,  
8 how all that works, the, you know, bringing in  
9 the training, the jobs, the local community,  
10 bringing in, you know, new communities, I guess.  
11 It's a very complicated process that we need to  
12 carefully consider.

13           CHAIR PAZ: Thank you.

14           Jonathan?

15           COMMISSIONER WEISGALL: Yeah, I'll jump  
16 in. Well, let me just give one specific idea on  
17 workgroups.

18           I think we need a workgroup because I --  
19 specifically on enterprise zone incentive kinds  
20 of issues -- Rod touched on that -- you know that  
21 I think that a couple of us could work on and  
22 then just present to the full Commission.

23           But there are just so many different  
24 ideas out there. There are enterprise zones.  
25 There's the California New Employment Credit,

1 California Competes Credit. There's -- oh, and  
2 there are all the acronyms, the EIFD, the,  
3 goodness, the Enhanced Infrastructure Financing  
4 District. There are CRIAs, Community  
5 Revitalization and Investment Authorities. And  
6 that's just California examples. There are other  
7 federal examples, as well, and federal  
8 opportunities.

9           So I would say that any final report  
10 should have not just a laundry list but a roadmap  
11 of all of those potential incentives, together  
12 with kind of how to get from here to there. And  
13 quite frankly, given the fact that Assemblymember  
14 Garcia has already -- already has a select  
15 committee on lithium, as we proceed, even this  
16 year, there's no reason we can't feed those ideas  
17 to the legislature if specific legislation is  
18 needed.

19           But you know, anyway, a specific subgroup  
20 on incentives, I think, would be important. And  
21 I would limit it right now to lithium production.  
22 I think if, you know, if it's broad -- if it  
23 proves to be broader, that's great, but that  
24 would be one area I would suggest.

25           CHAIR PAZ: Thank you.



1 Commissioner Guzman Aceves?

2 COMMISSIONER GUZMAN ACEVES: Thank you.

3 I was kind of looking back through the  
4 statute to make sure this isn't already in there,  
5 but perhaps a working group that can inform the  
6 other working groups as a group, or perhaps an  
7 exercise of the Commission as a whole, is to  
8 establish some goals, maybe on a five-year and  
9 ten-year horizon, by which our recommendations  
10 could be focused to meet?

11 And, certainly, Jonathan mentioned one  
12 goal which is the most targeted, which is what is  
13 our lithium production goal that we're attempting  
14 to meet over the next five years and ten years?  
15 And, obviously, the lens that I'm participating  
16 in this, I come at it because I would assume,  
17 once we have that production goal, we're then  
18 able to derive many other goals, generation of  
19 geothermal necessary to meet those production  
20 goals, as an example. But many other goals could  
21 be tied to the production goal, like workforce  
22 and training needs tied to meeting that  
23 production goal.

24 So I'm not sure if, perhaps, that exists  
25 already somewhere or if it's something that was

1 left open. But, you know, I know some of the  
2 other states have set targeted goals on  
3 production, so I guess that's one way to organize  
4 ourselves and really be focused on what is it,  
5 what's our annual lithium production over the  
6 next five years and ten years as a potential way  
7 to organize ourselves?

8 CHAIR PAZ: Thank you. That's a great  
9 idea.

10 Commissioner Olmedo?

11 COMMISSIONER OLMEDO: Yeah. Thank you,  
12 Madam Chair.

13 I just wanted to follow up on some of the  
14 previous comments and just offer a more general  
15 response, that I truly believe that all of us who  
16 are here, and I don't speak for anybody but,  
17 certainly, for myself, I think we're here because  
18 we want to see this industry become a reality,  
19 and we want to be able to see those benefits  
20 returning into the economically-depressed  
21 community.

22 A couple of things I wanted to highlight  
23 is, historically, opportunities have come to  
24 communities and disadvantaged communities, again,  
25 or environmental justice communities, and I'll

1 use that interchangeably, have been asked to  
2 compromise quality of life for jobs. I certainly  
3 don't want to necessarily make this the  
4 foundation of the conversation as to I understand  
5 the goal here is how do we get to the finish  
6 line; right? And how can we -- you know, what's  
7 the path to getting there? And how can we do it  
8 better than it's been done in the past and, at  
9 the same time, responding to the urgency of the  
10 opportunity that is there now?

11           One of the things I'd like to, again,  
12 bring back to, again, bring back to the  
13 discussion that I brought earlier is we may, at  
14 times, need to issue memorandums. And I'd like  
15 us to consider what that looks like, whether we  
16 have the authority to do that within the  
17 legislation? Is it broad enough that we may want  
18 to consider that, at times, to be able to keep up  
19 with those urgent matters while, at the same  
20 time, not compromising the goal of and the task  
21 of this Commission?

22           The other thing I do want to acknowledge,  
23 and it's a hot topic because we are in critical  
24 distress when it comes to the health impact of  
25 the Salton Sea, and that's going to be an

1 important conversation because we don't -- I  
2 certainly would not want speculation to be the  
3 driver of or to be a barrier of progress in  
4 making sure that every inch of that playa has  
5 been exposed that we know is at risk -- is a  
6 health risk, that speculation be the driver of  
7 whether we allow for health-responsive projects  
8 to move forward, and not allow speculation to be  
9 the driver as to how much, how and when those  
10 projects move forward.

11           That's it. I mean, I'll double-down my  
12 commitment to be here to see this through but to  
13 see it through in an economical and an equitable  
14 and just way.

15           Thank you.

16           CHAIR PAZ: Thank you.

17           I don't see any other hands, so maybe I  
18 missed one.

19           Commissioner Hanks?

20           COMMISSIONER HANKS: Thank you. I'd just  
21 like to jump in, just for a second here.

22           I'd just like to go back in time a little  
23 bit. You know, when we talked about geothermal,  
24 it's -- we had talked about it like it's  
25 something new, you know, on the cusp that's time

1 has arrived. But I'd just like to share this  
2 with you, it's been 50 years in the making. And  
3 it took a lot of effort from a lot of people.  
4 Yeah, there was some incentives early, but there  
5 was also commitments of long-term leases to help  
6 those that invested the time and the money and  
7 their creativeness to make it happen. So there  
8 is a foundation that is very critical in moving  
9 forward.

10           And I'd kind of like to piggyback on what  
11 I heard from Mr. Olmedo. We can't lose focus of  
12 where we're going. We're going to have a lot of  
13 workgroups. And, quite frankly, some of the  
14 workgroups that we discussed, I probably won't  
15 have much value on some of those, especially the  
16 marketing and so forth because that's outside my  
17 area. But I think as these workgroups come  
18 together, if we keep in mind that our goal is to  
19 find the optimal path within each workgroup to  
20 make this Lithium Valley happen, we can all point  
21 to hundreds of reasons why maybe we should  
22 advance as quickly or so forth, but our goal  
23 should be to find one optimal path forward and it  
24 should all come together.

25           Now time, for a lot of us, is not a lot

1 of time. I've watched that area out there since I  
2 was a child, the mudpots before there was any  
3 geothermal, and wonder, why in the world would  
4 God make such a place, you know? What value  
5 would this place ever have? And it has been a  
6 remarkable trip to watch it move from mudpots  
7 boiling up out of the ground with the sulfur  
8 smell and so forth to mining, exploring for oil,  
9 finding steam, and moving on to geothermal, and  
10 then the resources, so there is a foundation  
11 there.

12           So from my standpoint, yes, I'm with a  
13 public utility, energy utility and irrigation, so  
14 I try to look at it, my role in this Commission  
15 and these workgroups, okay, here's the foundation  
16 where this thing is going to spring up from. How  
17 can I assist in making that happen?

18           And so just let me share with you just a  
19 couple of things there, the things that, up to  
20 this point, we've run into. We've run into  
21 permitting, regulatory issues. We have  
22 environmental issues to look at. We have, as the  
23 geothermal comes together which will, basically,  
24 be the (indiscernible) coming up out of the  
25 ground, we'll be looking at power transmission

1 lines to get the energy out. You know, we are a  
2 public utility. We'll be working with private  
3 groups. We'll be working with marketing groups  
4 to find purchase power agreements to assist these  
5 geothermals in being efficient and productive.

6           As an Irrigation District, virtually all  
7 of them will be in our irrigation service area,  
8 and there will be a need for water. So we'll be  
9 looking at ways to conserve water to make it  
10 happen.

11           And so I just name a few of these just to  
12 show you that there's a lot of things that we  
13 look at and say, well, that's just too much to  
14 overcome. No. We have to look at the optimal  
15 path. And we all, when I look at this  
16 Commission, we all have skill sets that are very  
17 broad-based. And when we get into those subsets,  
18 it's going to be very critical that we focus,  
19 stay focused on making this happen, how, as a  
20 subgroup, we can contribute to make it come  
21 together?

22           A lot of these people I know personally.  
23 Some of them I don't know. And I'm very  
24 impressed with a lot of creative minds to make  
25 this happen. And regardless of how you look at

1 us, we're the foundation. We're the ones who are  
2 going to make it happen. We're going to build  
3 the foundation and we're going to have to pass  
4 that on up to the legislatures, and they're going  
5 to have to look at how they can accommodate some  
6 of the permitting, the regulatory issues and, at  
7 the same time, satisfy our environmental groups  
8 that will be working, looking out for people's  
9 health, the economic situation that we're in, and  
10 pull together.

11 But none of it happens if we lose focus,  
12 none of it. And I heard Supervisor Kelley. He's  
13 just like me. He has seen these opportunities  
14 come and go. They just kind of slipped through  
15 our fingers over the years. And this is one that  
16 is so critical, not only to the Imperial Valley  
17 and the Coachella Valley and the Salton Sea  
18 regions, but to our state and to our nation as a  
19 whole, to help us recover, to help us move on.

20 And not only is the lithium important for  
21 vehicles but for storage of energy. How are we  
22 going to make our energy sources reliable? We're  
23 struggling already because we're missing a couple  
24 of components. And geothermal can fill that row  
25 while we're also developing the lithium



1 production, and also with the storage.

2           So I just want to -- you know, when you  
3 were asking earlier, I held back. I'm not too  
4 proficient on this technical stuff. But I just  
5 wanted to give everybody that challenge, to just  
6 stay focused. This is huge, people, and I'm not  
7 talking just from an economic standpoint. All  
8 the things that I've heard, all the answers that  
9 has been shared here, it's big in every aspect.  
10 And I don't care whether you're looking at  
11 environment, I don't care whether you're looking  
12 at the economic side of it. I don't care if  
13 you're looking at the educational and the  
14 benefits to an are. That has, quite frankly,  
15 been forgotten.

16           So I just want to encourage everybody  
17 just to stay focused with it on these groups. I  
18 know that at times it will kind of take off in  
19 its own direction and you wonder, well, how is  
20 this going to come together? And at some time  
21 there's got to be that leadership that can reach  
22 out to each one of these subgroups and pull it  
23 together and make it happen.

24           So let's stay focused on this Lithium  
25 Valley. Let's make it happen and not get too

1 sidetracked with all of our silos or subgroups  
2 and make it a reality.

3 Thank you.

4 CHAIR PAZ: Thank you, Commissioner  
5 Hanks. And I do want to acknowledge that we're  
6 probably running a little bit behind the time for  
7 the panelists. But I think this conversation --  
8 we need to go slow to go fast, and this is  
9 foundational. So I do appreciate we might not  
10 get to the vote on -- or, you know, establishing  
11 the workgroups at this meeting. But I think,  
12 just from what I'm hearing, there's a lot to  
13 take, both in the structure and the report and  
14 what it could look like, as well as the  
15 workgroups that can help us get through those  
16 sections in the report. So I really appreciate  
17 all of your comments.

18 And I believe, Commissioner Ruiz, I  
19 believe you're the last person here that I see  
20 with a request to speak.

21 COMMISSIONER RUIZ: Thank you, all, and  
22 thank you, Madam Chairwoman.

23 I think, you know, the opportunity it  
24 gives is unique right here. As an  
25 environmentalist, I've been paying attention to

1 the social, political, environmental implications  
2 of this region, and the opportunity to create a  
3 roadmap right here that will provide multiple  
4 benefits. And I've been concerned for a long time  
5 that all the different sectors working in silos  
6 work almost independent from each other.

7           Already we have, you know, at least, you  
8 know, I can say -- I can name at least three of  
9 the main huge issues here in the region, one  
10 being public health, we're talking about, you  
11 know, in correlation to the Salton Sea, the  
12 economy, and the environment. And I think, you  
13 know, the opportunity to come here and bring the  
14 expertise and bring in all the backgrounds, you  
15 know, from many years of experience, and I think,  
16 you know, here in the room, you know, we have so  
17 many different professionals from so many  
18 different backgrounds, and create a roadmap that  
19 will not only provide benefits to the people,  
20 which is, I think, you know, the main -- one of  
21 the main components. But also to create benefits  
22 for the environment that has been highly damaged  
23 and hurt by the traditional approaches; right?

24           So here we have the opportunity to create  
25 energy to clean energy, clean renewable energy,

1 and to provide so many different benefits from  
2 it. Let us not forget that the environment is so  
3 sensitive. And we need to look at it in a  
4 holistic perspective and not just, you know, as a  
5 collateral benefit.

6           As an environmentalist, you know, I see,  
7 and I can give you many reasons why, by investing  
8 in the environment protection, we're investing in  
9 public health, we're investing in the economy,  
10 we're investing in so many aspects of the  
11 community and the livelihoods of so many people.

12           So I want to reflect on the comments of  
13 Commissioner Hanks. Let us focus here and let us  
14 not work independently but, you know, let's bring  
15 the -- let's find the common denominator. Let's  
16 find those common grounds. And let us be  
17 dialectic in our approach. Let us see both  
18 sides.

19           And I hope, you know, it is my wish that  
20 we, especially for the environmental potential,  
21 it may not be a collateral benefit but it may be  
22 at the hub, you know, just like it will be the  
23 public health and the economy of the region, I  
24 hope, you know, that we can find this energy and  
25 the common ground, that experience and expertise,

1 you know, years from many of you and all of you,  
2 will be so beneficial as we take on this  
3 endeavor.

4 Thank you though.

5 CHAIR PAZ: Thank you.

6 So let me summarize just what I'm  
7 hearing, both in terms of the structure and the  
8 workgroups, just so we can have a running list  
9 that we can pick up at the next meeting, maybe  
10 when we establish the workgroups.

11 So in terms of the report structure, what  
12 I heard is having the following sections, a  
13 vision statement, maybe some principles, right,  
14 that's going to guide us in this work, keeping in  
15 mind what the community benefits or the vision  
16 for the community is, having -- and these  
17 sections are not in order, I mean, we'll decide  
18 what order they are presented -- but a  
19 legislative and regulatory framework, market  
20 demand, economics, community benefits -- what  
21 else? -- a roadmap. So those are the things that  
22 I heard from all of you.

23 And what I would add is sections on the  
24 infrastructure needs for the building out of the  
25 supply chain, for example, or even just for the

1 actual extraction of the lithium and putting  
2 it -- commercializing it. I would add another  
3 section on the environmental impacts, then to  
4 mitigation strategies. And a section that  
5 complements work that's happening at the Salton  
6 Sea, the mitigation and restoration of the Salton  
7 Sea.

8 I did also hear communities engagement  
9 and goals. And I think those could be  
10 throughlines. And goals, for sure, can be a  
11 throughline across all of the sections of the  
12 report, what are the milestones, and by when, you  
13 know? We want to hit those. And community  
14 engagement, I mean, I think that could also be,  
15 maybe, a practice; right? As we're developing  
16 the vision and the community benefits, maybe  
17 having a workgroup that focuses on engaging the  
18 community and developing or co-designing those  
19 with us, informing.

20 So transitioning to the workgroups, what  
21 I heard we should consider are, let's see, well,  
22 workgroups on community engagement, maybe a  
23 workgroup on each of the portions of the report.  
24 And some of these I'd overlap already with some  
25 of the eight components that the legislation

1 lined out for us. I don't know if there was --  
2 yeah, I think they outlined pretty well, other  
3 than the community engagement, maybe, workgroup.

4 So that's more or less what I'm hearing.

5 And did I miss anything?

6 Elisabeth, do you think this would be  
7 helpful for us to prepare for the next meeting  
8 and just having them outlined?

9 And people, between now and then, if the  
10 Commissioners can start thinking about which  
11 workgroups they would like to serve on and  
12 participate, that would also be helpful. And it  
13 will help us get moving in this direction by the  
14 next meeting.

15 MS. DE JONG: So, yes, to respond to you,  
16 we can workshop that and propose a list for the  
17 next meeting.

18 CHAIR PAZ: Thank you. All right, so I  
19 think then we -- I don't think we need to vote at  
20 this point. Can you verify that, Elisabeth?  
21 We'll just leave it at that and open this section  
22 for public comments.

23 MS. DE JONG: Correct. And just to  
24 clarify, we do have some legal presentation that  
25 we can present. We can defer that to the next

1 meeting before voting on the subgroups?

2 CHAIR PAZ: Yes.

3 MS. DE JONG: Okay. So if we don't have  
4 any more comments then from the Lithium Valley  
5 Commissioners, we can turn to public comments. I  
6 do have one comment that came in from Laurel  
7 Lees.

8 And let me go ahead and un-mute you in  
9 just one second. Okay, I have given you that  
10 ability to go ahead and speak.

11 MS. LEES: Hi. Thank you. This is  
12 Laurel Lees. I am employed with Controlled  
13 Thermal Resources. And I'm also on the State  
14 Board or Directors for the Association of  
15 Environmental Professionals. That means I'm a  
16 CEQA-NEPA practitioner and an environmental  
17 compliance expert.

18 And my question is: How will the Lithium  
19 Valley's general report structure not overlap  
20 with existing environmental compliance  
21 regulations under CEQA and NEPA, such as  
22 identifying mitigation measures? Because those  
23 are already covered. These environmental laws  
24 are very, very restrictive against negative  
25 environmental impacts. But there's no incentives



1 for projects that propose positive environmental  
2 impacts.

3           So in short, how will the Lithium Valley  
4 Commission's general report ensure a conscious  
5 action will be taken efficiently and effectively  
6 to streamline development that has a positive  
7 impact on the environment, society, and economy?

8           CHAIR PAZ: Thank you, Laurel. We will  
9 keep that in mind as the report and the  
10 recommendations are flushed out, but I appreciate  
11 your comments and questions.

12           Is there any other public comment?

13           MS. DE JONG: We did have a comment from  
14 Rebecca Zaragoza.

15           Would you like to speak that now? Okay,  
16 hold on one second. I see your hand raised.  
17 And, okay, go ahead and speak.

18           MS. ZARAGOZA: Hi. Thank you. My name  
19 is Rebecca Zaragoza. I work with Leadership  
20 Counsel for Justice and Accountability in the  
21 Eastern Coachella Valley.

22           And I wanted to bring my comment up now  
23 because I can't stay for the full meeting, but I  
24 did make a public comment at your first  
25 Commission meeting about conducting a community

1 workshop or a community info session, just to  
2 provide a space and inform community residents  
3 about the work that you all are doing with this  
4 Commission and just, you know, introduce  
5 yourselves as Commission Members and sort of  
6 explain, you know, what the purpose of this  
7 Commission is, you know, how residents can stay  
8 informed, and give an overall review and overview  
9 of what lithium is, what lithium extraction is,  
10 how that connects to the existing geothermal  
11 activity that's already happening and, you know,  
12 clarify if there are any like potential impacts  
13 to the Salton Sea, or air quality, or the  
14 environment, those types of issues.

15           So I just wanted to bring that back up  
16 and see if there has been any follow-up to those  
17 comments?

18           Thank you.

19           CHAIR PAZ: Thank you, Rebecca. I can  
20 certainly really discuss this prior to the next  
21 meeting and get some direction, also, from Legal  
22 about how this could happen without violating  
23 Bagley-Keene or whether it would have to be a  
24 formal meeting, so we'll follow-up on that.

25 Thank you.

1 MS. DE JONG: I don't see any other --

2 CHAIR PAZ: Any other?

3 MS. DE JONG: -- hands raised or written  
4 questions.

5 CHAIR PAZ: Thank you. Okay.

6 So we can -- we now have a presentation  
7 on the lithium market. So again, I think the  
8 purpose of the presentations and the panels also  
9 come from some requests from the first meeting  
10 about getting us all sort of on the same level  
11 and same page before we move too far ahead. So  
12 we hope that these two upcoming presentations and  
13 panels meet that request.

14 So do we want to introduce Logan Goldie-  
15 Scot from Clean Power Research, Bloomberg. And  
16 they're going to be giving us a presentation on  
17 the lithium market. I think we can get started.

18 MR. GOLDIE-SCOT: Perfect. Well, thank  
19 you. Thank you very much, Chair, and for all the  
20 other Committee [sic] members, and for all the  
21 members who -- all the sort of other sort of  
22 attendees today. My name is Logan Goldie-Scot.  
23 I head up the BloombergNEF, which is a strategic  
24 market research sort of company focused on the  
25 new energy transition.

1           Next slide please.

2           Now what I would like to -- what I'd like  
3 to do is give an initial view on demand, where we  
4 see, basically, demand for batteries, in  
5 particular, going and how that affects our global  
6 lithium demand? I'll talk about a few of the  
7 dynamics that currently exist in the lithium  
8 market today. And then think about how the  
9 market is changing and how there are sort of  
10 opportunities here in California and in the U.S.  
11 more broadly for lithium development.

12           Next slide please.

13           So the starting point is the -- we expect  
14 the largest segment of lithium-ion battery demand  
15 to be for passenger electric vehicles. And you  
16 can see, this market is really beginning to take  
17 off now where in 2021, so this year, we're  
18 expecting 4.4 million passenger electric vehicles  
19 to be sold globally.

20           China, which is the red series here, has  
21 been the largest market for passenger electric  
22 vehicles in recent years. But, actually, if you  
23 look at the green series what's really notable is  
24 how quickly this can change. So stricter fuel  
25 economy standards and sort of government supports

1 in Europe has actually resulted in a surge in  
2 passenger electric vehicle sales. And in 2021,  
3 we expect Europe to overtake China as the largest  
4 market.

5           At the moment, North America is sort of  
6 lagging somewhat behind in terms of passenger  
7 electric vehicle sales. But we have expected,  
8 sort of, regulatory and policy changes over the  
9 coming years, partly associated with the change  
10 in administration. We believe there's a  
11 significant sort of upside there.

12           Next slide please.

13           So what does that mean ultimately? In a  
14 conservative scenario, you're looking at roughly  
15 a tenfold increase between 2020 and 2030 in  
16 lithium-ion battery demand. As you can see here,  
17 the biggest single segment in our outlook is  
18 passenger electric vehicles, so that light blue  
19 segment, although this is complemented by demand  
20 from commercial electric vehicles, ongoing demand  
21 from sort of consumer electronics, so the iPad  
22 that was mentioned before, as well as stationary  
23 storage.

24           Now I mention, this is a conservative  
25 scenario. That's because it is not tied to

1 recently policy developments. It's actually tied  
2 to sort of a pure, pure, pure, pure economics.  
3 Clearly, the change we've seen in Europe,  
4 expected change in North America, could see  
5 actual battery demand significantly sort of  
6 greater than this over this period.

7           Next slide please.

8           So we've gone from electric vehicle  
9 demand to battery demand. Now, just in terms of  
10 what this means for battery matters, you can see  
11 that that sort of conservative estimate is still  
12 in a tax as a change in lithium demand over this  
13 period. And then you also have significance for  
14 the increase in demand for other battery matters  
15 as well.

16           Next slide please.

17           So the focus of the Commission and  
18 today's session is clearly on lithium. And so if  
19 we take a look at the next slide, I just wanted  
20 to highlight a few sort of, I'd label them risks  
21 but it's really dynamics that are currently sort  
22 of present in the global lithium market, because  
23 it's worth understanding how this market has  
24 developed over the last few years.

25           So the first is supply control. Then

1 we'll talk about sort of high costs and low  
2 prices, high debt and project delays. And let's  
3 start with supply control.

4           Next slide please.

5           So these two charts here show the metric  
6 tons of nameplate manufacturing capacity for  
7 lithium metals, so not lithium carbonate  
8 equivalent, so different unit, but we're talking  
9 about, essentially, the same thing. And we'll  
10 show the other unit on the next slide. But for  
11 me -- oh, no, no, sorry.

12           So from a supply standpoint, a global  
13 lithium market is one that is dominated by a  
14 relatively small number of countries. So you've  
15 got significant activity in Australia, in Chile,  
16 in China, and sort of Argentina, as well, in  
17 terms of sort of actually sort of production  
18 capacity at the moment, so relatively, sort of,  
19 geographically concentrated, and very little  
20 activity in the U.S. so far.

21           Next slide.

22           And from a supply-demand perspective,  
23 what you can see on this chart, and it's a  
24 slightly busy chart, but the columns are demand,  
25 and then the dotted lines are sort of our global

1 de-risk supply. So what you can see is demand is  
2 increasing. That's what we've sort of talked  
3 about earlier in this presentation. And on the  
4 different supply scenarios, really as a result of  
5 the uncertainty around the economic recovery off  
6 the back of COVID, the different supply  
7 scenarios, you do see a relatively tight market  
8 but a market that is sort of in balance in the  
9 near term. But in some years, definitely, sort  
10 of falls into deficit if -- depending on the  
11 scenario.

12           And so from a supply control standpoint,  
13 what you're looking at is a few countries where  
14 most activity is happening, they're rapidly  
15 increasing demand, and sort of the resultant need  
16 for, actually, a very sort of a steep optic in  
17 lithium supply globally.

18           Next slide please.

19           Now one of the sort of issues, I guess,  
20 that has been very present in the lithium market  
21 over the last few years is, even though many sort  
22 of -- many companies who are active in the market  
23 have been looking at that or sort of predicting  
24 that sort of a battery demand and that surge in  
25 lithium demand, sort of that it's coming and that



1 it is now beginning to materialize, that has  
2 not -- that sort of expectation has not yet  
3 being -- or has not, until recently, really  
4 started to be sort of priced in.

5           And what you've seen -- what you can see  
6 in this slide is for lithium carbonates, and we  
7 could share the same data for lithium hydroxide,  
8 actually, since 2018, lithium prices have been  
9 relatively low. So you've had this prolonged  
10 period of low prices, despite that significant  
11 sort of increase in expected demand. And that,  
12 clearly, has put pressure on whether resources or  
13 whether new lithium resources can be brought  
14 online in time and whether that's their sort of  
15 price signal to sort of -- to secure sort of  
16 investment for those resources.

17           So that's often a common theme that you  
18 will have heard about of we won't have enough  
19 lithium supply to meet demand because not enough  
20 investment has been sort of going into the space.  
21 Now our expectation, and I sort of confirmed this  
22 with the CEO of Lithium Americas on a sort of  
23 video interview recently, our expectation is that  
24 meeting that demand over the next sort of five,  
25 ten years globally is attainable, but it would

1 require monumental change. It would require more  
2 resources being developed incredibly quickly and  
3 investments sort of coming online or investment  
4 feeding into the space. And so -- and that is  
5 not the backdrop that we -- the market has been  
6 operating in because of these low prices.

7           Next slide.

8           And the other consequence, I guess, of  
9 sort of this prolonged period of low prices has  
10 been that many lithium producers have sort of  
11 accumulated debt. And what you can see on this  
12 slide is a leading sort of a lithium company,  
13 Tianqi. It actually sort of back in sort of 2018  
14 acquired -- took on significant debt in order to  
15 make an acquisition in another leading lithium  
16 company called SQM, so this is a Chilean company.  
17 And actually, amid this backdrop of low prices,  
18 that has resulted -- or that did result in some  
19 challenges for Tianqi in terms of sort of a  
20 pending loan maturity debts, I guess. And  
21 actually, that was just sort of an acquisition  
22 relatively recently that helped sort of alleviate  
23 that.

24           And so the reason why I mention that and  
25 why I've gone, actually, quite deep into a very

1 company-specific piece here is just to illustrate  
2 the challenges that can be caused in a market off  
3 the back of sort of recent low prices. But the  
4 good news, if you noticed it on the previous  
5 slide, is at least early this year it does look  
6 like there's at least an initial sort of uptake  
7 in lithium prices, which gives more confidence  
8 and might reflect that growing consensus around  
9 battery demand and the need for lithium resources  
10 more globally.

11           Next slide please.

12           So that backdrop of like, actually,  
13 probably remarkably tricky last couple of years,  
14 but a fairly sort of optimistic outlook in terms  
15 of demand, in terms of need for materials, it  
16 also poses this question around where will those  
17 resources come from? And here, I've titled this  
18 section Strategic Investments, but really this is  
19 around sort of geographies and where the U.S.  
20 sort of may fit in here.

21           Next slide please.

22           And I think one thing that has been  
23 mentioned, and sort of Rod talked about this  
24 early on in the call, is this need for -- need,  
25 when understanding the opportunity, to also have

1 a sort of a bit of a clear view on the whole  
2 production value chain, so starting off, as I did  
3 in this presentation, understanding where will  
4 electric vehicles, where will batteries be sold?  
5 Where will batteries be made? Where will the  
6 components be sourced from that go into those  
7 batteries and, ultimately, where the raw  
8 materials come from? So we don't need to dwell  
9 on the details here. But, really, it's just to  
10 reinforce a point that was made earlier in this  
11 session of when trying to map out the opportunity  
12 in Salton Sea and the Lithium Valley,  
13 understanding, taking a holistic view is clearly  
14 going to be important.

15           Next slide please.

16           And I think what we can see, just in  
17 terms of understanding what the other parts of  
18 that value chain look like at the moment, it's --  
19 well, this is, hopefully, sort of useful context.  
20 So these two charts show commission and expected  
21 commission capacity in 2020 and 2030 for lithium-  
22 ion cell manufacturing. And it's broken down by  
23 geography.

24           So in 2020, you're looking at just sort  
25 of the 500 gigawatt hours of global cell

1 manufacturing capacity, the vast majority of  
2 which is located in China. It's very much sort  
3 of a China play at the moment. And then a  
4 relatively even split between activity in Europe  
5 and the U.S.

6           But if you fast forward a decade, this is  
7 not a forecast. This is purely based on company  
8 announcements. Reality will clearly be different  
9 as different companies sort of announce new plans  
10 or fail to deliver or to execute on existing  
11 ones. But looking forward you can see the  
12 potential way in which this market is changing.  
13 So as passenger electric vehicle demand has  
14 soared in Europe, so has the supply chain. The  
15 supply chain has begun to respond and so you see  
16 a flurry of announcements, most recently by  
17 Volkswagen, to have its own cell manufacturing  
18 capacity. So lots of announcements there.

19           If you think of the U.S. which, based on  
20 current announcements, has sort of ceded market  
21 share or cedes market share over this period,  
22 actually, we do expect that to change. As you  
23 see fuel economy standards, as you see President  
24 Biden, sort of President Biden and at the state  
25 level, broader support for electric vehicles, we

1 expect the supply chain to sort of -- to catch up  
2 there. And so this is -- this slide, I guess  
3 from a cell manufacturing perspective, is an  
4 expected call to action for manufacturing in the  
5 U.S. And it also does show how quickly things  
6 can change.

7           Next slide please.

8           But as I mentioned, it's important, when  
9 thinking about the opportunities for lithium  
10 development, to also understand everything from  
11 that sort of end customer through cell  
12 manufacturing, also, to sort of -- to the  
13 different components.

14           And just to highlight, on the two main  
15 components here, so cathodes and anodes, in both  
16 cases the story is remarkably similar where this  
17 is a segment of the market where activity today  
18 is heavily concentrated in Asia-Pacific, so China  
19 playing a very, very large role, but then also  
20 activity in Japan and Korea which goes alongside  
21 your sort of -- your understanding of leading  
22 battery players in these markets, such as LG  
23 Chem), Samsung, SCI, or Panasonic.

24           Next slide please.

25           Very much the same message here. The

1 previous slide was on cathodes. This is on  
2 anodes.

3 Next slide please.

4 So the point of all of that detail, I  
5 guess, is to say at the moment most value in sort  
6 of -- and they're, actually, they're called  
7 batches sold in the U.S., most of that value is  
8 actually being sort of accrued outside of the  
9 U.S. And I guess this is why we're having this  
10 discussion today. And this is something that is  
11 sort of very much on state level and federal  
12 level sort of policymakers minds at the moment.

13 Here I've just shown two examples of what  
14 that looks like. Both are illustrative, just  
15 based on sort of expected supply chain mapping  
16 for sort of different configurations.

17 One, you can see how in a -- if you're  
18 manufacturing cells, in the cells in the U.S. in  
19 the sort of Tesla/Panasonic-type configuration,  
20 actually, your source, you're accruing around  
21 half of the value in the U.S. here. But clearly,  
22 because you're sourcing your lithium from  
23 elsewhere, because you're sourcing your raw  
24 materials and your components, I mean, a lot of  
25 this -- a lot of the value is actually being

1 accrued elsewhere. That's sort of a significant  
2 goal for Japan and China still. And a similar  
3 setup for illustratives for Korean manufacturer  
4 who would sell manufacturing operations in the  
5 U.S.

6           And so this is the current state of play.  
7 And I guess the topic of the day is how to  
8 increase that blue series in these charts, how to  
9 ensure that you have more value being accrued in  
10 the U.S. and, yeah, how do you show more jobs in  
11 the U.S., I guess, is a different way of thinking  
12 about this?

13           Next slide please.

14           So this slide seems to have been chopped  
15 up in the transfer, I think, to the master deck.  
16 But never fear, you can see this slide in a press  
17 release or in the main document, it will be  
18 listed. Essentially, what this shows is the  
19 results of a battery supply chain ranking where  
20 we've ranked countries across the world based on  
21 2020 activity and 2025. And the U.S. in 2020,  
22 based on a mix of different factors, ends up  
23 coming in sixth place, so lagging some of these  
24 sort of Asia-Pacific countries.

25           Next slide please.



1           And that is based on sort of what raw  
2 materials are available, and also being sort of  
3 access in North America so far, what components  
4 in cell manufacturing is currently located sort  
5 of in different regions, environmental  
6 considerations, sort of regulatory and  
7 infrastructure considerations, and crucially,  
8 demand. And at different events with the CEC  
9 I've sort of stressed this point, and it's just  
10 worth really flagging again, of it's incredibly  
11 important in terms of value, accrued value across  
12 that supply chain, if you're end demand is local.

13           So America is one of a few major  
14 automotive markets here which puts in a natural  
15 position of strength. But it really does require  
16 sort of policy intervention, which we expect to  
17 come over the next couple of years, to change  
18 that, to stop electric vehicle sales and battery  
19 sales in America lagging. And so that is  
20 incredibly important in terms of aligning  
21 everything from lithium extraction all the way  
22 through to the end customer.

23           Next slide please.

24           And so we have these going, sort of U.S.  
25 companies going sick. But this rapidly growing

1 demand does create sort of clear opportunities  
2 for lithium extraction and other materials of  
3 extraction in the U.S. that are certainly worth  
4 exploring. You can see there are some sort of  
5 clay resources here. And then, of course, the  
6 Salton Sea piece that we're discussing today.  
7 And so, again, the U.S. is in a natural position  
8 of strength in terms of its ultimate sort of  
9 demand potential as a major automotive market.  
10 And it also actually has some fairly interesting  
11 sort of resources, notably the -- or certainly  
12 including the Salton Sea one.

13           Next slide please.

14           So again, I think this, for those on the  
15 call, is probably worth checking the original  
16 presentation that I've sent across because the  
17 formatting has been slightly lost here. But the  
18 message actually, fortunately, is still -- can  
19 still be conveyed.

20           Here you can see the cash-cost curve for  
21 lithium-clay resources in America. So the  
22 (indiscernible) project and then the Reach  
23 (phonetic) projects. And what we've found, that  
24 we have a model way you can look at your  
25 operating costs, and then your cash costs, which

1 also considers sort of local royalties, taxes, et  
2 cetera. And if you just focus on where I've sort  
3 of outlined U.S. clay here, what you can see is  
4 that on a cash-cost basis, like even for this  
5 unconventional resource, we do believe that as  
6 sort of a path to be competitive.

7           Now we haven't done this analysis for  
8 Salton Sea resources. I defer to others on the  
9 call here. If you have information that would  
10 allow us to do this analysis, then you have my  
11 email address, and we'll definitely be sort of  
12 adding it to the model as soon as feasibility  
13 studies are done and as soon as this information  
14 becomes available.

15           But, essentially, the point is the U.S.  
16 does have resources. And from the studies we've  
17 seen so far, they can be competitive, especially  
18 once you start linking the synergies of some more  
19 vertically integrated supply chains in the  
20 country. Clearly, lots of factors to consider.  
21 And these have been mentioned earlier on the call  
22 around environmental permitting, sort of figuring  
23 the sort of best practice around sort of  
24 indigenous and community rights, and  
25 understanding sort of what type of jobs are

1 available and how does this actually sort of pan  
2 out? But there is lots to be sort of -- lots to  
3 be excited about.

4           Next slide please.

5           Okay, and so this slide actually does  
6 seem to have somewhat survived the formatting.  
7 But the final slide from my side is, essentially,  
8 the outlook for the creation of a U.S. battery  
9 supply chain is fairly positive. I mentioned  
10 before, 2020 rank in the U.S. is in sixth, is  
11 lagging sort of China, Japan, but also sort of  
12 South Korea and other nations. But when you  
13 combine what we expect to change over the next,  
14 what, now four years in terms of regulatory  
15 changes, in terms of sort of raw material  
16 production and batteries, sort of cell  
17 manufacturing and component manufacturing,  
18 actually, there's a lot to look forward to here.

19           So a very interesting situation to be in.  
20 Clearly, we're sort of at the start of a journey  
21 here. But, certainly, if the one key -- if  
22 there's one takeaway from this presentation is  
23 that we are -- we expect electric vehicle --  
24 well, actually, we expect lithium-ion battery  
25 demand to be increased rapidly over -- in the

1 near term, medium term, and long term as  
2 batteries, essentially, underpin the  
3 decarbonization of both power and transport.  
4 Eight out of twelve global economies now have  
5 near-zero goals. If the U.S. sort of joins them,  
6 this will accelerate even further. Even if the  
7 U.S. doesn't, then you're still looking at clear  
8 progress over the next few years in terms of  
9 decarbonization.

10           None of this happens without batteries.  
11 Batteries are heavy and expensive to ship. At  
12 scale, it will often make sense to manufacture  
13 them locally. And then there are advantages, if  
14 you can close to your component manufacturing and  
15 your raw material manufacturing.

16           So next slide.

17           And thank you. Thank you very much  
18 everyone.

19           CHAIR PAZ: Thank you, Logan.

20           Now we will open it up for questions from  
21 any of the Lithium Valley Commissioners. If you  
22 can please raise your hand on the screen so that  
23 I can call you?

24           MS. DE JONG: You have a hand raised from  
25 Rod Colwell.

1 CHAIR PAZ: Thank you.

2 Rod?

3 COMMISSIONER COLWELL: Hey, Logan. I  
4 just wanted, yeah, I just wanted to say thank  
5 you. That was a very comprehensive slice and  
6 dice of what's going on in the market. You know,  
7 I agree, the U.S. has probably been,  
8 respectfully, you know, holding back before they  
9 industrialize. I think there's a feeling of sort  
10 of watching it unfold, is this real or not? But  
11 you really should look at the self-corporate  
12 governance of, you know, big auto and others who  
13 have their own mandates. So it's not as strict  
14 as, say, Europe in the sense.

15 And you know, the comment of sort of  
16 supply chain is real. I think, you know,  
17 Jonathan probably can attest to this. But we --  
18 you know, Salton Sea feels unique in a way where  
19 we'll produce a battery-grade lithium hydroxide  
20 onsite. It doesn't need to go offshore; you know  
21 what I mean? And I think the opportunity here is  
22 going for cathode, rather than crystalizing that  
23 and then sending it off to rehydrate it to  
24 make -- you know, and a 20,000 kilometer carbon  
25 footprint for shipping, those cost factors, I

1 think, are being quickly worked out now for that  
2 supply chain opportunity. So the technical  
3 process is quite, you know, reasonably  
4 straightforward.

5 Cash costs, I think, were in with clay, I  
6 would say without saying it; right? I think  
7 we're very -- and all-in opex all-in cash costs.  
8 And the advantages is that we produce  
9 (indiscernible) steam to run the lithium  
10 facilities. It's about, you know, a 20 percent  
11 excess steam in former various energies. So  
12 that's in electricity, of course, and everything  
13 else that goes with that. And I totally agree  
14 with the alignment of the Biden-Harris  
15 Administration with the California government.  
16 It's just wonderful to see that unfold. And  
17 then, again, Jonathan is probably more wide on  
18 that.

19 But look, thank you so much, Logan. That  
20 was really, really helpful.

21 MR. GOLDIE-SCOT: Thanks very much.

22 CHAIR PAZ: Any other questions?

23 MS. DE JONG: I don't see any other. Oh,  
24 no, I don't see any other Commissioner hands  
25 raised.

1 CHAIR PAZ: Okay. So we can go to public  
2 comments at this point.

3 MS. DE JONG: Okay. So just a heads-up  
4 for public comments, if able, we can answer the  
5 questions. We may or may not be able to answer  
6 your questions during the meeting right now. But  
7 if you are joining via Zoom on the computer,  
8 please use the hand -- the raise-hand feature.  
9 And if you've called in, please dial star nine,  
10 and then star six to un-mute yourself. First  
11 we'll go those hands that are raised in the Zoom  
12 application, and then the phone. I see one  
13 comment -- or one hand raised.

14 Mike -- oh, you're -- oh, there it is --  
15 Garabedian, if you want to go ahead and speak?

16 MR. GARABEDIAN: Hi. Thank you. Mike  
17 Garabedian. I'm in Lincoln, California. But in  
18 an earlier part of my life I was a volunteer  
19 fireman in upstate New York. And the factor that  
20 needs to be taken into consideration, though  
21 it's -- and it's not really premature, are  
22 lithium battery fires in cars that I think most  
23 or a lot of the first responders aren't --  
24 haven't been trained in it to understand how to  
25 deal with them. Because there have been a



1 handful of cases where the fire -- the car is  
2 towed somewhere and the fire erupts, you know, a  
3 few days or a week later.

4           So that's -- I don't have any idea if  
5 that's a significant issue that would affect the  
6 market or not. But there may be a growing  
7 awareness of that. And if that isn't looked at  
8 in the analysis, I just suggest that it should  
9 be.

10           Thank you.

11           MS. DE JONG: Thank you.

12           I don't see any other hands raised at  
13 this time.

14           Well, thank you, Logan.

15           We'll go ahead and move on to the next  
16 item on the agenda.

17           CHAIR PAZ: Thank you. Yes. So we will  
18 now have a panel of developers and experts to  
19 discuss the following topics related to lithium  
20 battery development projects, company status,  
21 timeline, milestones, hurdles, comparison to  
22 other lithium resources, and other related  
23 topics. So we have invited Michael McKibben from  
24 UCR, Jonathan Weisgall, who you all know, and Rod  
25 Colwell, who you all know as well. And we will

1 take them in that order, so --

2 MR. MCKIBBEN: Thank you, Silvia.

3 So I've been studying the geology of the  
4 Salton Sea geothermal field since the 1970s. And  
5 I'm going to give you a geological perspective on  
6 the resources there and then place that in a bit  
7 of a global context.

8 I do feel compelled to disclose that I  
9 have been and am a consultant to some commercial  
10 parties who are looking to extract metallic  
11 resources from the field.

12 So next slide please.

13 So if you've been down to the Imperial  
14 Valley, you may have seen this strange linear  
15 feature along the mountain range. And that's a  
16 bathtub ring of tufa, or limestone, from the high  
17 stand of Ancient Lake Cahuilla. And it's  
18 important to know that this infilling and  
19 evaporation of the northern part of the Imperial  
20 Valley has occurred hundreds to thousands of  
21 times over the last several million years.

22 And so this has led to an accumulation of  
23 a very deep basinal sodium chloride brine beneath  
24 the valley, and that's shown on the next slide.  
25 So Robert Rex mapped out this bring pool. It's

1 normally down at about five kilometers depth.  
2 And every black dot within that colored area is a  
3 well that encountered a hyper-saline brine.

4           Around the Salton Sea geothermal field,  
5 because of the igneous activity there, that brine  
6 actually gets heated up and expands and comes  
7 near to the surface. So you can find it as  
8 shallow as a half a kilometer deep in the middle  
9 of the Salton Sea geothermal field because the  
10 magma at great depth has heated it up.

11           Next slide.

12           So as that brine has moved up through the  
13 sediments, it's interacted with them. It's  
14 changed them to a metamorphic rock. It's leached  
15 a lot of the metals out of the sediments. And  
16 you now have this very saline metamorphic brine  
17 that's loaded with valuable metals, including  
18 lithium.

19           And so the picture on the right shows the  
20 reservoir rock. It's actually not an aquifer.  
21 It's metamorphic rock. You can still see some  
22 remnant sedimentary structures but it's very  
23 dense. It's highly fractured because of the  
24 faulting and tectonics and the seismicity of the  
25 entire valley. And so it's not an aquifer, it's

1 a fractured metamorphic reservoir.

2 Next slide.

3 And the brine sits in those fractures.

4 So the obvious question is: How much  
5 lithium is there?

6 And to do that, you need to estimate the  
7 volume of brine in the reservoir. And you can do  
8 that in a conservative or pessimistic way and  
9 just take the current installed capacity and  
10 calculate how much brine down to a commercial  
11 production depth of about two kilometers, or you  
12 can be a real optimist and take the ultimate  
13 capacity that field has, which is close to 3,000  
14 megawatts, and calculate the brine volume that  
15 would be down to a commercial production depth of  
16 3,000.

17 So if you do that, you end up with a  
18 range of brine volumes from a little over 5 cubic  
19 kilometers to a little over 33. And you could  
20 call that the pessimistic to the optimistic  
21 range.

22 Next slide.

23 So you can then take that brine volume  
24 and take the lithium concentration and come up  
25 with an estimate of how much lithium is there.

1 And there's somewhere between 1 million to 6  
2 million metric tons of lithium metal sitting in  
3 those brines. I'm quite confident that,  
4 actually, 3 million is probably the minimum. And  
5 you can multiple these numbers by 5.32 if you  
6 want lithium carbonate equivalent. And you can  
7 multiple them by 6.05 if you want lithium  
8 hydroxide on a hydrate equivalent.

9           But these are huge numbers. That's more  
10 than the total U.S. reserves of lithium from  
11 traditional sources, which is shown in the right-  
12 hand column, about three-quarters of a million  
13 metric tons. And the value of lithium, the  
14 amount of lithium in the Salton Sea, is  
15 comparable to the reserves of each of the four  
16 major global producers, so Argentina at 2  
17 million, Australia at 4.7, Chile at 9, and China  
18 at 1.5.

19           Next slide.

20           So, in fact, the Salton Sea geothermal  
21 field has the largest tonnage of any known  
22 lithium brine deposit. So this is a plot of  
23 grade, on the vertical axis, grade parts per  
24 million of lithium versus total tonnage of brine  
25 on the horizontal axis. And you can see that

1 the Salton Sea geothermal field actually lies off  
2 this right-hand scale of this diagram. So it is  
3 the largest lithium brine deposit in the entire  
4 world.

5           Next slide.

6           So we can now start thinking about  
7 depletion of this brine if we start pulling  
8 lithium out. And these are just sort of back of  
9 the end calculations and we need to refine them.  
10 But I took Besseling's production data from the  
11 CalEnergy plants at their current capacity and  
12 their future capacity, so that's 17,000 metric  
13 tons per year and 40,000 metric tons per year,  
14 and compared that to the total reserves that are  
15 in the field.

16           And if you favor the optimistic end of  
17 the estimate, like I do, the depletion rate is  
18 less than a percent per year. And what that  
19 means is you potentially have hundreds of years  
20 of lithium production that's feasible out of this  
21 field. So it appears sustainable but we need a  
22 more dynamic and detailed lithium reservoir  
23 model.

24           So the next slide shows that several of  
25 us from UC next week are going to actually pitch

1 to DOE an improved lithium reserve estimate for  
2 the geothermal field. This is being led by Pat  
3 Dobson up at Lawrence Berkeley Lab. And we want  
4 to try and figure out, really, how much lithium  
5 is present in detail, how much is recoverable,  
6 how rapidly that lithium concentration might  
7 decrease as we produce and reinject brine? And  
8 then another question is: If we're reinjecting  
9 brine that's been stripped of lithium back into  
10 the reservoir, which is where it's going to go,  
11 will it pick up new lithium and be replenished?  
12 So these questions we could answer with some  
13 research.

14           Next slide.

15           So I think the Salton Sea lithium can  
16 clearly help fill in a looming supply gap that  
17 the previous speaker pointed to, that by the end  
18 of this decade we might have a problem between  
19 lithium demand and supply.

20           And if you see, the lower figure shows  
21 that right now there are 30 lithium extraction  
22 facilities on the globe. By the end of the  
23 decade, Benchmark Minerals is predicting that  
24 number will more than double. A lot of these  
25 that are coming online are direct lithium

1 extraction brine projects. And some of the  
2 producers that have been using more traditional  
3 evaporation and precipitation techniques, such as  
4 up in Clayton Valley, have announced that they're  
5 now going to convert over to direct lithium  
6 extraction to replace those.

7           Next slide please.

8           So things to watch, and the previous  
9 speaker alluded to these, are what's going on in  
10 the Smackover Formation in Arkansas, and then in  
11 the Alberta oil fields up north of Calgary.  
12 These are oil field brines that are either being  
13 processed for grooming now or will soon be  
14 processed. And companies are proposing to add on  
15 lithium extraction, direct lithium extraction  
16 circuits, to those. And then they're talking  
17 about target production rates of 13 tons per  
18 annum of lithium metal and 25,000 tons per annum  
19 of lithium metal.

20           These facilities are already surrounded  
21 by existing oil field and chemical processing  
22 infrastructures, as well as a skilled workforce  
23 population, so they do have some advantages in  
24 competing with the Salton Sea in its current  
25 state.



1           So in conclusion, I think it's pretty  
2 obvious that there's a large lithium reserve in  
3 the Salton Sea geothermal field, at least 3  
4 million tons of lithium metal. They appear to be  
5 sustainable over several power plant lifespans of  
6 production.

7           And so I urge the Commission to think  
8 about things that have been already talked about,  
9 like tax credits and other incentives that both  
10 the local and state and even federal levels that  
11 will be helpful in making the Salton Sea lithium  
12 project competitive with some of these other  
13 brine and clay resources that have been talked  
14 about.

15           Thank you.

16           CHAIR PAZ: Thank you, Professor  
17 McKibben.

18           Next up we have Jonathan Weisgall, who is  
19 the Vice President of Berkshire Hathaway Energy.

20           Jonathan?

21           COMMISSIONER WEISGALL: Thanks Silvia.  
22 Yeah, let me -- I quickly want to address some of  
23 the questions that you wanted, the status of air  
24 project timelines, milestones, hurdles,  
25 comparison to other lithium resources.

1           So let's start with that first slide, if  
2 we could?

3           Here's just an aerial shot of our  
4 geothermal facilities. We've got ten geothermal  
5 plants that produce about 350 megawatts of  
6 electricity. We sell to Imperial Irrigation  
7 District, Riverside, Sacramento Municipal Utility  
8 District, and others.

9           And if you would go to the next slide,  
10 please, you can get a view of one of our plants,  
11 the Elmore facility. And this simply shows you  
12 the proximity to the Salton Sea. These plants  
13 are pretty much on the southeast corner of the  
14 sea.

15           We've been operating these plants for  
16 over 35 years. We've got a workforce of about  
17 225 people who work in Imperial County and pretty  
18 much reflect the demographics of the county and  
19 paid about \$45 million in property taxes in the  
20 last eight years.

21           So what you see in those facilities,  
22 we've got 23 production wells that range from  
23 about half a mile deep to well over a mile and  
24 bring up that geothermal brine, as you heard from  
25 Professor McKibben, very hot temperatures up to

1 500 degrees Fahrenheit. So that's a little bit  
2 of the background on our facilities.

3 If you could go to the next slide?

4 Let me just review status and timelines.

5 We are working on two separate grants for  
6 demonstration projects. So we are very much --  
7 we're beyond the proof of concept, the laboratory  
8 phase, but we are far from commercial.

9 So we are at the demonstration phase with  
10 two projects, one from the California Energy  
11 Commission that we received in May of 2020. And  
12 the purpose there is to show that we can recover  
13 successfully that lithium that you've heard about  
14 from our geothermal brine. That's a \$6 million  
15 grant under the EPIC Program. And we need to  
16 match that with at least \$4 million of corporate  
17 funds. Any overage is pretty much our nickel if  
18 we can't do this for that price tag. The goal  
19 there is groundbreaking in April of 2021, which  
20 will be just, really, we hope, in the next couple  
21 of weeks. And to be in service by January of  
22 2022 with that demonstration plant.

23 Part of the contract is a knowledge and  
24 transfer component. That's a requirement of the  
25 Energy Commission grant to, essentially,

1 socialize what we are going to be learning with  
2 the grant. And we are partnering with other  
3 folks at the University of California Riverside  
4 and with Lawrence Berkeley National Lab to help  
5 on that. Now that project will give us lithium  
6 from the brine in the form of lithium chloride.  
7 The final feedstock that goes into a lithium-ion  
8 battery is either lithium carbonate or lithium  
9 hydroxide.

10           So that led to our second application for  
11 a research and development grant. And again, in  
12 a competitive solicitation, much like the first  
13 one, we filed with the U.S. Department of Energy,  
14 oh, roughly June of last year. And we won that  
15 award in January. And that is a \$14.9 million  
16 grant with two purposes, number one, to  
17 demonstrate, as I just explained, that we can  
18 convert that lithium chloride into battery-grade  
19 lithium hydroxide.

20           And then another part of the grant is  
21 actually to fund the engineering for full-scale  
22 commercial operations. That grant, also, is a  
23 matching grant. So we will be matching that with  
24 \$14.9 million of corporate funds. We hope to  
25 finalize the contract with the Department

1 sometime next month or in May. And we want that  
2 demonstration project to be in service in the  
3 Fall of 2022.

4 I'm not going to go through -- and you  
5 wanted me to handle all of this in a couple of  
6 minutes, so let me skip over technology and  
7 really get to the next important point that you  
8 wanted covered here -- yeah, you can go to the  
9 next slide -- which is really to compare --  
10 comparison to other lithium resources.

11 So what I want to do here is show you how  
12 lithium is produced in these other countries that  
13 you heard from, from Logan with his various  
14 charts.

15 As you can see here, in Australia, hard  
16 rock mining is the technique that is used. Huge  
17 rocks with lithium and other minerals are  
18 extracted from these open-cut mines which leaves  
19 gigantic scars in the landscape. A lot of water  
20 is needed. And it actually releases about 15  
21 tons of carbon dioxide for every ton of lithium  
22 that's mined.

23 So you can see the huge physical  
24 footprint. You can see those, maybe, 40 or 50  
25 homes there on the left side of the slide to give

1 you some perspective. But the alternation,  
2 physically and ecologically, of the landscape is  
3 kind of staggering. And that rock, then, is  
4 shipped overseas, mostly to China, for further  
5 processing. And about 95 percent of all of it is  
6 discarded.

7           If you could go to the next slide?

8           This just give you another view, just to  
9 see how intrusive this process is.

10           Now the other part of the world which  
11 supplies most of the lithium -- if you could go  
12 to the next slide? -- Chile and Argentina. So  
13 here's an aerial view of the Atacama Desert in  
14 Chile. Lithium there is extracted by pumping  
15 large amounts of brine from under the surface  
16 into these so-called evaporation ponds, although  
17 measuring them, some are about half the size of  
18 San Francisco, and these are thousands and  
19 thousands of acres of ponds where that briny  
20 water is left to evaporate, leaving behind  
21 lithium chloride, much like we'll be obtaining  
22 from our geothermal brine.

23           This takes place in the Atacama Desert,  
24 the driest place on earth with severe water  
25 shortages. It requires a huge amount of water,

1 about 500,000 gallons per ton of lithium.

2           And if you go to the next slide you get a  
3 sense of the footprint. You see in that lower  
4 left-hand corner there is someone standing up on  
5 a ridge. And you could imagine the impact on the  
6 groundwater or the land subsistence, the  
7 destruction, really, of the desert ecosystem as  
8 local residents and farmer are getting less and  
9 less access to water. And it's actually having  
10 an impact on companies that are hoping to extract  
11 more lithium from those ponds.

12           It's causing some very serious problems  
13 with the huge, huge impact on the desert  
14 ecosystem, not to mention the fact that these  
15 ponds also expose the lithium and other chemicals  
16 directly to the wind, potentially impacting air  
17 quality, kind of a little bit like we're seeing a  
18 the Salton Sea with this residual salt waste  
19 simply out there, subject to the weather, and the  
20 impact, not just on humans but flora and fauna as  
21 well.

22           I do want to -- that's, I think, all I  
23 have in my presentation. What's that next slide  
24 there? I guess that's -- okay.

25           I do want to quickly -- Silvia, you had

1 asked a couple of questions, so let me just take  
2 one more minute and address the three questions  
3 you've had. And I do want to say that we've  
4 already had, and this response, Luis, to some of  
5 your points and others that we've heard, we've  
6 had one townhall meeting. It was on March the  
7 9th, I believe. We had about 150 people tuning  
8 in. And we've had another one on March the 15th  
9 under the auspices of Assemblymember Garcia's  
10 office with a number of local groups.

11           We really do want to stress community  
12 outreach and community involvement with  
13 environmental groups or others to let you know  
14 about the project as it goes forward. Now, we  
15 want to be transparent. I will tell you, we are  
16 in the beginning stages, but it really is  
17 important for us to let folks know what we are  
18 doing.

19           And, Silvia, that leads to your three  
20 questions. I can cover them very quickly. You  
21 wanted to know any impact on the water levels of  
22 the Salton Sea?

23           And the answer, really, is none at all.  
24 The geothermal brine we use, both for the  
25 geothermal operations and the lithium recovery,



1 is completely disconnected from the Salton Sea.  
2 We draw that brine, as you saw from Professor  
3 McKibben's slides, it's from a separate source  
4 altogether, a subsurface reservoir that beings at  
5 least half a mile, well, maybe a little bit less,  
6 below the base of the Salton Sea.

7           Your second question, in the process of  
8 injecting the brine back, where does it go, and  
9 does any of it stay in the Salton Sea water or  
10 enter the aquifer?

11           Lithium recovery will involve processing  
12 that geothermal brine, of course, before it is  
13 injected back into the reservoir where it  
14 originally came from. So that lithium recovery  
15 process is designed to return more than 99  
16 percent of the fluid in the brine back to the  
17 geothermal operations for injection into the  
18 reservoir. It's obviously in our interest to  
19 keep that reservoir going, a little bit like a  
20 pot on a low boil, if you will, but we want that  
21 reservoir to stay solid. In fact, we've seen no  
22 decrease in pressure in that reservoir in 35  
23 years. The fluid is completely nonhazardous.  
24 And this process also has nothing to do with the  
25 Salton Sea. It has no impact on the Salton Sea.

1           Your third question was will other  
2 ingredients be used as a catalyst for the  
3 extraction and production of lithium that may  
4 leave a hazardous byproduct and what happens to  
5 those?

6           And the answer is, yes, hydrochloric acid  
7 and sodium hydroxide will be utilized as chemical  
8 reagents. But they are recycled in the process,  
9 so there will be no hazardous byproducts.

10           Let me stop there. And, obviously, glad  
11 to answer any questions.

12           Thanks very much.

13           CHAIR PAZ: Thank you so much, Jonathan,  
14 for the presentation and for the very succinct  
15 answers to the questions I had posed. I  
16 appreciate that.

17           We will now invite Rod Colwell, who is  
18 the Chief Executive Director of Controlled  
19 Thermal Resources.

20           COMMISSIONER COLWELL: Thank you, Silvia.

21           And next slide please.

22           So a little bit about all the Hell's  
23 Kitchen Lithium and Power project. We're located  
24 just slightly north of Berkshire's plant and  
25 adjacent to Energy Sources plant. The photo

1 there, that indicates the mudpots of the volcanic  
2 activity that's happening that Commissioner Hanks  
3 mentioned earlier.

4           So our first stage of development is a  
5 49.9 megawatt plant in which we have contracted  
6 that power to IID, coupled with a 20,000 metric  
7 ton per annum LCE or, actually, lithium hydroxide  
8 facility, with power delivered in '23, end of  
9 '23, and lithium coming online Q1 2024. The  
10 resource capacity, as Professor McKibben and  
11 Commissioner Weisgall mentioned, it's a large  
12 homogenous resource. We could produce,  
13 ultimately, with our leases in contiguous lanes,  
14 300,000 tons LCE fully developed, which is  
15 equivalent to approximately 1,100 megawatts of  
16 power.

17           You know, there's been a long operation  
18 of life, as Jonathan mentioned. And there's  
19 other minerals in there, rare earths included,  
20 potassium, zinc, manganese, iron, rubidium, and  
21 also opportunities to enhance development. You  
22 know, the brine comes from a deep source. It's  
23 already at the surface. And the pretreatment and  
24 processes is done, so there's a real opportunity  
25 there.

1           Next slide please.

2           This is just a visual, a very simple,  
3 maybe very oversimplified visual, but basically  
4 to getting to Jonathan's and Silvia's questions,  
5 yeah, the hot brine, if you see on the left where  
6 the hot brine comes up, it's coming from 6,000 to  
7 7,000 feet below, way below, super-heated brine.  
8 So we flash the steam off it. It's still in  
9 liquid form. We flash the steam and it  
10 basically, you know, turns the steam generator,  
11 which has been going on for like 38 years now,  
12 and longer. And that excess electricity is sold  
13 into the grid 100 percent, 24/7 renewable energy.

14           The minerals recovery, I won't go into  
15 too much, the preprocessing, cleaning up the  
16 brine to a point where it just runs through a  
17 traditional exchange, in simple terms. That  
18 brine then is reinjected back into the formation.  
19 They manage that by some dilution water and top  
20 up and make sure that the reservoir is managed  
21 correctly, as Berkshire has done for all of these  
22 years.

23           The opportunity I mentioned before, the  
24 (indiscernible) between lithium recovery module  
25 and the LCE production is a real opportunity

1 here. As I mentioned before, they sort of bring  
2 in the auto, you know, (indiscernible) as LCE  
3 production as cathode is battery manufacturers to  
4 the EV storage. Now the supply chain can happen  
5 effectively. And I think, really, that's one of  
6 our focus points on the Commission.

7 Next slide please.

8 So I won't go into this too much.  
9 Jonathan really, really nailed this. It's great.  
10 You know, the small physical footprint, I think  
11 this image sums it up. And Jonathan's images, I  
12 mean, you're covering, effectively, you know, 200  
13 acres of say 5,000 acres of surface area. So it  
14 makes sense. You're basically, you know,  
15 drilling directional. You're drilling, getting  
16 a, you know, very small footprint. But that  
17 enables, you know, certain restoration work to be  
18 done. You know, we're out on the playa and it's  
19 hardly in the sea, so to speak, so a little bit  
20 closer to the shoreline than, say, Berkshires.

21 But you know, it does -- it opens up this  
22 discussion which we're going to look forward to.  
23 The rest of the salars and open pit, Jonathan  
24 really, really touched on that quite well.

25 So next slide please.

1           So you know, the key benefits, I mean, it  
2 creates new jobs. We're a union site, so we've  
3 been working very closely. You see  
4 representatives on the call earlier. We're  
5 working closely with the labor unions in  
6 coordination with local job and training, et  
7 cetera.

8           You know, we are a critical mineral. And  
9 beyond just lithium, there are other critical  
10 minerals that are on the list. We'll provide  
11 those to U.S. Minerals.

12           Dust abatements in the area, and I think,  
13 you know, the Salton Sea, in fact, I think that,  
14 you know, if you look at the image here, it says  
15 it itself. I mean, the summer load or the  
16 recession of the sea, where we're located, we've  
17 measured up to, you know, 30 yards a month in big  
18 summers. So it's accelerating very, very fast in  
19 the shallow delta. So there's a real opportunity  
20 to be able to get in and, you know, master plan  
21 this more like a subdivision and do environmental  
22 work and co-location work and really think about  
23 this as a bigger picture.

24           So jobs, you know, in our project alone,  
25 fully built out, is sort of close to 2,000 jobs.

1 These are long-term jobs, auxiliary jobs. The  
2 power. The indirect effects to the community.  
3 And working with the community, of course. As  
4 the group has mentioned, you know, the community  
5 outreach, environmental repair, you know, there's  
6 a wonderful opportunity for all of us to tie  
7 together.

8           Next slide please.

9           So this just indicates from when we  
10 signed the lease, we had leases with the IID.  
11 You know, we've been actively involved since  
12 2012, so leading up to 2016, there was a lot of  
13 work done. But since then, you know, we, CTR,  
14 we've followed strict mining guidelines and heat  
15 to a very, very strict guidelines under 43101,  
16 which is an assessment process that, yeah,  
17 selects technology, the risks of that, measures  
18 the resource and all sorts of things, and done a  
19 lot of work.

20           So as mentioned earlier, we're on track  
21 to deliver our first megawatts of power Q3 2023  
22 and, say, Q3-Q1 2024 for our first stage of  
23 lithium. And then, you know, we'll figure out  
24 how much demand there is. But with all things  
25 equal, you know, I think that we'll be planning

1 our next stage, probably in the coming months.

2 Next slide please.

3 So the challenges, you know, there's a  
4 photo there. No one wants to look at these,  
5 they're not the prettiest, but that's one of the  
6 shots from out on the playa where we're located.  
7 I mentioned earlier the, you know, 30-so yards a  
8 month. You know, this is fresh playa. This is  
9 land that's being made, effectively, in the last  
10 22 years since the transfer agreement. So you  
11 know, the challenges are investment in large-  
12 scale mining, you know, the length of time, and  
13 permitting approvals.

14 You know, there's, you know, there's  
15 certain challenges with this. There's no point  
16 in listing them all out. But there are certain  
17 solutions and opportunities. You know, we've  
18 already touched on these. You know, getting  
19 Lithium Valley is a high priority with the  
20 federal government. Aligning with the state can  
21 be very, very helpful at, you know, getting  
22 designated as a major infrastructure project.  
23 These projects alone will bring a lot of people  
24 back to work on the other side of COVID.

25 So it's a great opportunity for the



1 country in its current location, you know, and  
2 enabling, sort of streamlining with CEQA, pushing  
3 some of the legislation currently in play and  
4 just encouraging, again, the state and federal  
5 governments to sort of work together and figure  
6 this out to become the first, world's first,  
7 clean energy and whatever.

8           Next slide please.

9           With that, I look forward to questions.  
10 And thank you very much for the opportunity.

11           CHAIR PAZ: Thank you, Rod.

12           So I prepared a few questions that could  
13 open up a discussion. And then we can open up a  
14 question and answer period for the Lithium Valley  
15 Commissioners.

16           And I will start. The basis of my  
17 question was from some of the language in  
18 Professor McKibben's presentation when you were  
19 talking about the potential competition for  
20 lithium and, especially, the direct lithium  
21 extraction. You mentioned that in some of those  
22 projects there are -- or there is, already, an  
23 attractive workforce. Can you talk about what  
24 you mean by an attractive workforce?

25           And then the rest of the panelists, if

1 you can join in on how could we design a more  
2 attractive workforce for the projects that we're  
3 envisioning at the Salton Sea?

4 MR. MCKIBBEN: Yeah. And I think that's  
5 a good, good thing for the Commission to be  
6 thinking about and addressing that in their  
7 report is helping develop that workforce.

8 So Smackover Formation is in the middle  
9 of the Gulf's hydrocarbon production region. And  
10 all I was alluding to was you already have lots  
11 of companies and lots of employees down there who  
12 are trained and skilled in brine operations and  
13 other operations related to energy development.  
14 And the same is true up in Alberta, in Calgary,  
15 in the oil fields up there.

16 So what I was referring to is you already  
17 have in place up there an experienced, skilled  
18 workforce dealing with these kinds of brine  
19 operations. And that's not necessarily the case  
20 you have in the Imperial Valley.

21 So getting the colleges involved down  
22 there to retrain people to work for these new  
23 jobs that Jonathan and Rod are talking about I  
24 think would be critical. And it should be a big  
25 component of your report to the legislature. And

1 in fact, increasing the capability of those  
2 colleges, community colleges, or even trade  
3 schools down there could be developed to help in  
4 that regard would be really important.

5 CHAIR PAZ: Thank you. What kind of  
6 partnerships do you think -- and maybe Rod or  
7 Jonathan -- from the private sector, right, like  
8 what kind of partnerships would help build the  
9 workforce, besides relying on the community  
10 colleges? Like what's the good sort of balance  
11 between the private-public partnership? And how  
12 could we work together on this?

13 COMMISSIONER WEISGALL: Well, I'll jump  
14 in.

15 We actually had a meeting, really just a  
16 couple of weeks ago, with the Imperial Valley  
17 Economic Development Corporation and the Lithium  
18 Valley College to talk about planning an  
19 apprenticeship program for, obviously, folks in  
20 Imperial County. But this is a very  
21 sophisticated program under the California, I  
22 believe it's the Department of Industrial  
23 Relations.

24 But you know, we're going to need a  
25 period of time to train that workforce. Plus,

1 we're going to have attract a workforce if the  
2 numbers really get bigger.

3 I think that for our lithium production,  
4 Rod, you had a figure, I guess I saw it quickly,  
5 it looked like 2,000 jobs or something. We don't  
6 anticipate anything quite that high for lithium  
7 production but, you know, it will be at least a  
8 doubling, if not more, of our current workforce  
9 of 225.

10 But I think the training will be  
11 critical. And we -- and that's exactly where a  
12 group, like the IVEDC, comes in, as well as  
13 possibly, you know, San Diego State, UC Riverside  
14 could be helpful.

15 One other idea, kind of a recent one, is,  
16 you know, we're going to be taking samples daily  
17 of brine. And we're going to be measuring in  
18 parts per billion of some of these metals you've  
19 been seeing, of not just the lithium but the  
20 other, either impurities or possible metals, to  
21 recover. Right now we have to send those samples  
22 hundreds of miles away and wait weeks to get  
23 answers.

24 So another possible idea here, and maybe  
25 this actually goes into our report, what about a

1 high-tech lab in Imperial County, maybe  
2 affiliated with UC Riverside, which probably has  
3 some of that ability? But a lab, you know,  
4 Lithium Valley with technicians trained, working  
5 there. This is an example of what more we can  
6 do.

7           So those are just a few ideas, Silvia, of  
8 workforce development. But it's got to be done  
9 the right way. And it's got to be done in  
10 conjunction with the existing human resources  
11 infrastructure that Imperial County has which, I  
12 think, is pretty good right now. So we're  
13 looking forward to working with these various  
14 groups.

15           CHAIR PAZ: Thank you.

16           MR. MCKIBBEN: And it's not just, I mean,  
17 for the lithium extraction. I would argue for  
18 training for battery production, as well, in the  
19 long run. And maybe that's where some of Rod's  
20 numbers are coming from, thinking long term.

21           COMMISSIONER COLWELL: I agree, yeah,  
22 Jonathan and Professor, that, yeah, I guess the  
23 approach, number one, you know, we've been here  
24 for eight years. We've been up there when it's  
25 been 120 degrees and 90 percent humidity. And

1 what I'm getting at, you know, the growth and the  
2 workforce needs to be organic and needs to be  
3 grown here. You know, just to be tough enough to  
4 handle -- you know, if you're welding pipe out  
5 there in the middle of summer, I mean, it's a  
6 pretty harsh place; right?

7           So cognizant of that, you know, our  
8 approach has been, similar to Jonathan, you know,  
9 working with IVEDC, Imperial College, looking at  
10 programs with various uses, I think we can  
11 capture sort of Southern California in a drawer.  
12 And even south of the border, there's some pretty  
13 serious and some great talent there, and it's  
14 beyond just lithium extraction. You know, our  
15 numbers are based on power plant. You know,  
16 we've got a rail site, and industrial site.  
17 There's all sorts of broad -- and the numbers,  
18 they're the numbers that we do know, it's the  
19 ancillaries, as well.

20           So you know, whether it's civil works,  
21 electricians, hydrometallurgist or whatever, you  
22 know, it's a very broad-brush workforce. It's  
23 not sort of like, respectfully, with salary,  
24 you'll get in there and build something and take  
25 off. This is -- running a building, it's one

1 thing running it but also, maintaining it is -- I  
2 mean, remember, these plants can run for 50  
3 years, so there's a very different approach to  
4 it.

5           So I would reflect that approach to jobs  
6 to the climate. And I think there's a lot of  
7 talent there. But you know, absolutely, as  
8 Jonathan has already alluded to, and Professor  
9 McKibben, you know, training programs ahead time.  
10 We'll engage in those in the coming months. I  
11 think to lead up to construction into next year,  
12 we need to start to lead up, but the construction  
13 for us is local. You know, performance  
14 mechanical contractors, et cetera, have local  
15 workforce. And we'll start to build on that as  
16 we sort of get into, you know, COD dates, or  
17 commercial operation dates, and operations. And  
18 that's where the real sort of long-term workforce  
19 does come in.

20           MR. MCKIBBEN: And by the way --

21           (Crosstalk.)

22           MR. MCKIBBEN: Oh, go ahead, David.

23 Please. Please.

24           CHAIR HOCHSCHILD: Yeah. Well, first of  
25 all, I just wanted to thank all the panelists,

1 really terrific presentation. And Logan, as  
2 well, from Bloomberg, really terrific datapoints  
3 there.

4           You know, when we look at the history of  
5 fossil extraction, you know, it's often a pretty  
6 destructive thing over time for the community.  
7 And one of the things that's exciting about this,  
8 you know, in addition to being the greenest way  
9 to recover lithium in the world, is the chance to  
10 maybe put some of the royalties and revenues back  
11 into restoration.

12           And you know, this is something, Rod, you  
13 had presented this concept to me some time ago of  
14 a set-aside of some of the lithium revenues to  
15 support a Salton Sea recovery. And I wonder if  
16 you could expand up on that, and a little bit  
17 around the jobs you can see from a fund like  
18 that? Rod, I was hoping you could add a little  
19 color to that.

20           COMMISSIONER COLWELL: Yeah. Thank you,  
21 Chair.

22           So, yeah, we've been actively talking to  
23 CNRA and the Energy Commission for some time on  
24 future stages of energy. And the conversation  
25 started because the slide, if you remember, it



1 just shows a wasteland of playa.

2           So look, we don't, number one, we don't  
3 want to be out there in the middle of nowhere  
4 with dust and everything anyway. We want to take  
5 what we have. And respectfully to the state,  
6 there's been, certainly, study after study after  
7 study and really, again, with all due harsh  
8 respect, not too much action going on. So it's  
9 good to see something going on now.

10           So we said, look, what if we could come  
11 up with a scheme that's bondable from the state,  
12 whether it's a price per megawatt hour or price  
13 per ton, you know, some sort of contribution that  
14 the state could bond and utilize, and let private  
15 enterprise, like ourselves or the state or do a  
16 JAB (phonetic), you have to be determined. But,  
17 fundamentally, the revenues, and to sort of  
18 answer lots of questions here, can be  
19 accumulating, you know, with the scale up here.  
20 You've seen the minimum footprint to lithium.  
21 You've seen what the playa looks like there. And  
22 for that, I know a lot of you guys on the call  
23 have been there and know what it's all about;  
24 right?

25           But you know, private enterprise, we can

1 get out there. We could do ag. We could do, you  
2 know, back to natural habitat. You know, and as  
3 the sea recedes we can utilize, maybe, drain  
4 water and work with IID and whatever.

5           So the Chair is right. I mean, this is,  
6 you know, a simplistic approach to a broad, broad  
7 amount of acreage. There's an unbelievable  
8 amount of exposed playa that's -- you know, I get  
9 out there and walk it myself, so I'm witness to  
10 it. I know what it's like.

11           But there's a wonderful opportunity here  
12 to balance out the win-win and let private  
13 enterprise do what it does best and assist with  
14 this growing situation.

15           CHAIR PAZ: Thank you.

16           So I will now open it up for questions  
17 from any of the other Lithium Valley Commission  
18 Members. If you can raise your hand so I can see  
19 who has a question or a comment? I do not see  
20 any hands but I do have another question.

21           Based on your response, Rod, about the  
22 potential -- dedicating potential revenues from  
23 royalties back in Salton Sea recovery, do we have  
24 an idea of what the economic value it is that  
25 we're talking about that can be tapped into?

1           COMMISSIONER COLWELL:  So what we  
2 proposed was -- this is on the energy side and it  
3 could be converted -- was \$1.00 a megawatt hour  
4 as a figure.  Now, if you're talking about 1,100  
5 megawatts or 300 megawatts, it's still a very  
6 significant accumulative number.

7           Beyond that, Silvia, we haven't -- it was  
8 a concept.  But the idea was, again, a fund,  
9 maybe DWR may be able to do projects under that  
10 accumulative revenue which could be, you know,  
11 hypothetically bonded, you know, and then pay for  
12 pretty major projects.  But you know, fully  
13 developed, to give you an idea, that's probably  
14 \$10 million a year roughly.

15           CHAIR PAZ:  Um-hmm.

16

17           COMMISSIONER COLWELL:  You know, so it's  
18 a significant number fully developed.

19           CHAIR PAZ:  Yeah.  And I think you gave  
20 me an answer that's more specific than I was  
21 looking for.  But I guess my question is more,  
22 when we're looking at the potential for lithium  
23 and producing the lithium for commercial uses, is  
24 there an idea yet of like how much profit and the  
25 economic impact?  Like is there a value to that

1 number as we're looking at whole of geothermal  
2 resource area?

3 COMMISSIONER COLWELL: I mean, there's --  
4 I think there's a commercial margin that would --  
5 you know, we're getting close to be able to  
6 finance these projects, which was sort of talked  
7 about earlier. I can't give you an exact number.  
8 Now the market is still not mature enough. We  
9 haven't secured our lithium offtakes. And I  
10 think in the previous presentation about the  
11 market, there's still a fair way to go with that.  
12 The market at the moment -- well, the previous  
13 years, if you like, was quite marginal, you know,  
14 you're sort of break-even point.

15 CHAIR PAZ: Um-hmm.

16 COMMISSIONER COLWELL: And you probably  
17 want to rely on a 20, 30 percent, you know,  
18 margin, you know, just to get these things, you  
19 know, the big dollars, you know, billion dollars  
20 to get financed.

21 So I think we're a little ways from that.  
22 But we're very happy to share those numbers as  
23 they come forward with the Commission.

24 CHAIR PAZ: Thank you. I appreciate it.

25 COMMISSIONER WEISGALL: I'll just jump in

1 there, Silvia.

2 I mean, you saw on, I think, Logan's  
3 chart, although it was a little messed up, as he  
4 said, you -- I think Logan was showing potential  
5 clay production --

6 CHAIR PAZ: Um-hmm.

7 COMMISSIONER WEISGALL: -- lithium. And  
8 it was in the order of magnitude, if I recall the  
9 slide correctly, about \$4,0000 to \$5,000 a metric  
10 ton. We need to be at that level.

11 Let's be blunt about this. I mean, our  
12 goal is to produce lithium that is both, you  
13 know, produced in an environmentally responsible  
14 way but in a technical and economically feasible  
15 way. If all we accomplish is the ability to  
16 recover lithium from the geothermal brine of the  
17 Salton Sea and the price is well above the world  
18 market, we haven't accomplished anything.

19 CHAIR PAZ: Um-hmm.

20 COMMISSIONER WEISGALL: Which is why I  
21 would be cautious about spending money in other  
22 places. We've got to make this industry work  
23 first. And I must say, if there are going to be  
24 taxes and royalties and allocations of profits  
25 going to a lot of other places, to may never

1 happen. We've got to make this work first.

2 I think that we can be competitive with  
3 those clay numbers in terms of cost. I think we  
4 can out-compete Australia and China. I don't  
5 think we can quite yet compete with Argentina and  
6 Chile but we can be very much in the ballpark and  
7 very close.

8 Now then, your question is profit, well,  
9 you saw Logan's slide of price of lithium, and  
10 it's been anywhere from -- and, again, I stand  
11 corrected and the slide will speak for itself,  
12 but I recall a high of \$17,000 a ton and a low  
13 of, maybe, \$8,000 or \$9,000. So, obviously,  
14 where you go -- I mean, minerals, I have to say,  
15 commodity prices historically, it's a tough  
16 business. And that's why larger margins are  
17 required.

18 It's a very volatile field, minerals  
19 generally, commodities generally. And there's  
20 really no transparency to speak of in the lithium  
21 market. So many of these deals are just  
22 bilateral deals. It's very hard to determine what  
23 prices are. But we've got to be competitive, no  
24 question about it.

25 CHAIR PAZ: Thank you for that.

1           So if there are no other questions from  
2 Lithium Valley Commissioners, we can, Elisabeth,  
3 turn it up for public comment.

4           MS. DE JONG: Yes, happily.

5           So if you're joining us on the computer,  
6 please use the raise-hand feature. And if you've  
7 called in, please dial star nine, and then star  
8 six so that you can un-mute yourself. First,  
9 we'll go to the hands raised in the Zoom  
10 application, and then on the phone. I see one  
11 hand raised from Micah Mitrosky.

12           I'm going to go ahead and un-mute you.  
13 And go ahead.

14           MS. MITROSKY: Hi. Good afternoon,  
15 Commissioners. Micah Mitrosky with IBEW 569. I  
16 spoke earlier. And I thought I would chime in on  
17 some of the workforce comments.

18           I know some of the industry folks are  
19 familiar with this info. But for the benefit of  
20 the broader Commission, as you're gathering your  
21 workforce info for the report, I thought I would  
22 highlight that IBEW Local 569 does operate a  
23 state-certified electrical apprenticeship  
24 facility in Imperial County. And IBEW members  
25 there in the county have built 2,000 megawatts of

1 renewable energy. And we were able to achieve,  
2 across all projects, roughly 80 percent local  
3 hire.

4           So you know, this is a really -- in terms  
5 of workforce training and creating quality career  
6 paths, you know, this certainly represents a real  
7 opportunity to leverage the state-approved  
8 apprenticeship network. And I know the local  
9 Imperial County Building and Construction Trades  
10 Council is really enthusiastic about partnering  
11 on these projects and helping to advance quality  
12 local employment opportunities with skilled  
13 training for local residents.

14           Thank you so much.

15           MS. DE JONG: Thank you.

16           And we have another hand raised from  
17 Michael Garabedian -- or sorry, Mike Garabedian.

18           MR. GARABEDIAN: Hi. Mike Garabedian  
19 again. Thank you. I have two general questions.  
20 I'm not looking for technical or engineering  
21 answers, just informational.

22           I'm wondering what the comparison of  
23 brine wells are to oil and gas wells? I mean, if  
24 you know a little bit about oil and gas, do you  
25 know something about brine or is a whole



1 different thing in terms of drilling and  
2 recovery, so forth?

3           And the other question is about the  
4 natural history. I wonder how the brine formed?

5           Thank you.

6           MR. MCKIBBEN: I can address how the  
7 brine formed.

8           So that valley has opened up over several  
9 millions of years. And the Colorado River  
10 deposited its delta into that valley over that  
11 time period. So most of the material excavated  
12 out of the Grand Canyon has been deposited into  
13 the Imperial Valley. And that river has flowed  
14 alternately north and south hundreds to thousands  
15 of times over the past several million years.  
16 And each time, it's filled up the northern part  
17 of the basin north of the delta apex.

18           It's then started to flow south after  
19 that lake filled, and then that lake evaporates.  
20 And so every time that lake evaporates it leaves  
21 behind salt beds. And so every time the Colorado  
22 River then flows back into the northern part of  
23 the valley, it redissolves that salt and  
24 percolates it into the ground.

25           And so that process taking place hundreds

1 to thousands of times over the past several  
2 million years has literally pumped salt into the  
3 bottom of that valley. And that's the origin of  
4 that brine. It's evaporated Colorado River  
5 water. It's not seawater.

6 That, in a nutshell, is its origin.

7 MR. GARABEDIAN: Fascinating.

8 CHAIR PAZ: Thank you, Professor  
9 McKibben.

10 And this, if there are no other public  
11 comments, this will conclude the panel  
12 discussion. So I want to thank our three  
13 panelists for all the information and the  
14 discussion you provided.

15 And now we are -- we have some CEC Staff  
16 who are going to be giving us updates on media  
17 and legislation.

18 MS. DE JONG: We do. And first, we'll  
19 hear from Anna Ferrera.

20 MS. FERRERA: Okay. Good morning -- or,  
21 no, good afternoon. This is how days are going  
22 with legislative work these days.

23 In case you didn't know, we have -- we're  
24 at the beginning of the legislative session. And  
25 so we have the largest amount of bills moving

1 through the system right now. They're being  
2 assigned to policy committees. And so -- and we  
3 have the budget process moving at the same time.  
4 So it's an extremely busy time for legislative  
5 folks, like me, who are trying to keep track of  
6 all the bills.

7           But as far as lithium is concerned, there  
8 are five lithium-related bills that are moving  
9 through at this time; two of them are by Senator  
10 Henry Stern. And we're watching those because  
11 there is a CEC component to them.

12           The first one is SB 423. And that will  
13 would require the CEC to incorporate emerging  
14 renewable energy and firm zero-carbon resources  
15 into its energy and resources planning process.

16           So in consultation with PUC, CAISO and  
17 CARB, on or before, if this bill passes, on or  
18 before December 31st, 2022 we would submit to the  
19 legislature an assessment of emerging  
20 renewables -- emerging renewable energy and zero-  
21 carbon resources that support a clean, reliable,  
22 and resilient electricity grid in California.  
23 And the bill mentions lithium in the findings and  
24 declarations, saying that,

25           "California is a global leader in solar

1 energy and lithium-ion battery storage  
2 deployment, and these resources are  
3 increasingly and urgently needed to boost  
4 electrical grid reliability" -- we know how  
5 important that is -- "and support the state's  
6 transition to clean energy in a cost-  
7 effective manner."

8 So that's 423, SB.

9 And then the other Stern bill is SB 551.  
10 And that bill seeks to establish an electric  
11 vehicle authority within the Governor's Office.  
12 And as part of that authority, one of the many  
13 responsibilities that the authority would be  
14 given, it lists lithium from the Salton Sea as a  
15 consideration in developing recommendations for  
16 electric vehicle design, development, and  
17 manufacturing to create export business  
18 opportunities, exporting, and as well as those in  
19 the state. So that is also out there right now.

20 We're also watching AB 1397, I think Mr.  
21 Colwell mentioned it earlier, and that Eduardo  
22 Garcia's California Lithium Economy Act. And I  
23 don't know how far he went into it but it would  
24 require at least 35 percent of the lithium used  
25 in electric vehicle batteries, under the Act, to

1 be produced in California.

2           Then SB 244, Bob Archuleta, lithium-ion  
3 batteries uses has to do with the disposal of  
4 those batteries and fire prevention. So it would  
5 require a system for acceptance and collection of  
6 used rechargeable batteries.

7           Also in the battery category, SB 289,  
8 Josh Newman, enacts the Battery and Battery-  
9 Embedded Product Recycling and Fire Risk  
10 Reduction Act, which would require producers,  
11 either individually or through the creation of  
12 one or more stewardship organizations, to  
13 establish a program for batteries and battery-  
14 embedded products.

15           So those are the bill right now. I  
16 think, you know, the ones that I mentioned  
17 earlier are probably more in play as far as the  
18 purposes of the Commission. And I'm happy to  
19 answer any questions that you may have on those.

20           And I think Lindsay is going to talk  
21 about media.

22           MS. DE JONG: Yes. Thank you.

23           MS. BUCKLEY: Yes. Greetings  
24 Commissioners. My name is Lindsay Buckley and I  
25 am the Director of Communications and External

1 Affairs here at the Energy Commission. I wanted  
2 to start out by letting you know that my office  
3 is available to support you in your work here,  
4 providing talking points or background  
5 information, as well as support if you're  
6 contacted by reporters and want any support for  
7 interviews or just any background information.  
8 So feel free to reach out directly to me or  
9 through Staff at any point.

10 I also encourage the Members to send us  
11 news and updates for tracking and sharing,  
12 whether it's a press release or a mention in  
13 another article or something happening in the  
14 I.V. We want to know about and just add it to  
15 our records, so please be encouraged to send  
16 along information to us as well.

17 In 2021 we've had significant coverage of  
18 the Commission. I know many of you have been out  
19 there and busy as well. So just a quick update.

20 We had the Chair give three different  
21 interviews to *Washington Post*, *CalMatters*, and  
22 *New York Times*. That's resulted in an article in  
23 the *Washington Post* on electric vehicles and  
24 battery storage overall in the United States, the  
25 big *CalMatters* piece that came out before last

1 month's Lithium Commission meeting, and then the  
2 *New York Times'* piece which, I understand, is  
3 still forthcoming.

4           Following and in advance of last month's  
5 Lithium Valley Commission, we did have quite a  
6 few inquiries, just curious about the Commission  
7 and the Commissioners. So I'll be continuing to  
8 send information to members of the media who are  
9 interested in the progress of the Commission.

10           And then last week, if you didn't see it,  
11 there was a highlight in Sammy Roth's Boiling  
12 Point Newsletter. He's a reporter with the *L.A.*  
13 *Times*. "The race is on to strike white gold at  
14 California's Salton Sea." I believe that also  
15 ran in the print addition. So if you haven't  
16 seen it, definitely worth the read. And I know  
17 some of the members of the Commission were also  
18 highlighted there, as well as their photography.

19           Nice shutterbug there, Rod.

20           Activities ahead, we are working on a  
21 fact sheet with Staff, just on the basics of the  
22 Commission history, background, goals, members.  
23 And we will circulate that when it's ready for  
24 review and circulation.

25           And our office will also help to support

1 the rollout of the final report for the  
2 Commissioners, including graphics and layout of  
3 the report, a news release, and media outreach as  
4 well.

5           And so that is it for me. Again, here to  
6 help support and provide information. And we'll  
7 be following along and looking to support at the  
8 end of this road, as well, and that's it.

9           CHAIR PAZ: Thank you, Lindsay and Anna.  
10           Are there any questions from the  
11 Commissioners?

12           COMMISSIONER COLWELL: Lindsay, could we  
13 get your contact details, maybe through Elisabeth  
14 or someone? Thank you.

15           MS. DE JONG: Yeah. If I could jump in?

16           MS. VAN BEBBER: Yeah. Yes.

17           MS. DE JONG: Yeah, you're welcome to  
18 email us at  
19 lithiumvalleycommission@energy.ca.gov. We can  
20 then channel you over to Lindsay with any of  
21 these media requests or support that you'd like.

22           COMMISSIONER COLWELL: Thank you. Thank  
23 you.

24           CHAIR PAZ: Thank you.

25           If there are no other questions, we can



1 now invite public comment for anyone who might  
2 have thoughts or questions on the media and  
3 legislation presentation.

4 MS. DE JONG: Thank you.

5 So if you're joining us on your computer,  
6 please raise your hand. And if you've called in,  
7 please dial star nine. I do have one hand raised  
8 from Caity Smith.

9 I'm going to ahead and you should be able  
10 to speak now.

11 MS. SMITH: Yeah. Great. Can you hear  
12 me?

13 MS. DE JONG: Yes.

14 MS. SMITH: Thank you. Hi. My name is  
15 Caity Smith. I'm with the National Renewable  
16 Energy Laboratory. Thank you to the Commission,  
17 as well as the CEC, for this opportunity to speak  
18 today.

19 I would like to bring to the attention of  
20 the Commission, as well as the audience, the  
21 NextGen Geo event, which will be held on  
22 Wednesday, March 31st. This virtual event, which  
23 organized jointly by the U.S. Department of  
24 Energy, as well as the National Renewable Energy  
25 Lab, will be highlight geothermal industry

1 advances, as well as cash prize competitions for  
2 innovators at every stage of their career.

3           The event will include conversations with  
4 clean energy thought leaders who will discuss  
5 game-changing technologies, new and growing  
6 opportunities in the workforce, and then next  
7 hottest topics in the industry, including direct  
8 lithium extraction from geothermal brines.

9           There will be live announcements,  
10 including finalists for the Geothermal Collegiate  
11 Competition, semifinalists for the Geothermal  
12 Manufacturing Prize, and of particular interest  
13 to this group, I would think, the unveiling of a  
14 new prize aimed at extracting lithium from  
15 geothermal brines.

16           In addition to these, we will have Kelly  
17 Speakes-Backman, who is the Principal Deputy  
18 Assistant Secretary and is Acting Assistant  
19 Secretary for the Department of Energy's Office  
20 of Energy Efficiency and Renewable Energy. She  
21 will be providing closing remarks for the event.  
22 And then after the event there will be an  
23 inclusive industry networking event to connect  
24 with geothermal experts, prize competitors, and  
25 students.

1           So I would like to invite all of you to  
2 attend this free event next week. I will drop  
3 the registration link into the Zoom chat. You  
4 can also find the information on the Department  
5 of Energy's Office of Energy Efficiency and  
6 Renewable Energy website.

7           Thank you so much.

8           MS. DE JONG: Thank you.

9           I do see a hand raised from Commissioner  
10 Tom Soto.

11           COMMISSIONER SOTO: Thank you. I just  
12 wanted to comment on the legislation. And, Anna,  
13 thank you for the report.

14           You know, no one should be shy about  
15 getting letters of support to Mr. Stern or Garcia  
16 for any of this because it goes back to the  
17 effect that I had described earlier about having  
18 to de-risk investments in lithium by creating the  
19 floor or economics, one, with Garcia's bill which  
20 is creating a content requirement so that every  
21 electric vehicle that is bought by the State of  
22 California has to have 35 percent California-  
23 sourced lithium. And that will help to create  
24 the economics we need to make this conversation  
25 reality.

1           Also, the EV Authority, that is being  
2 sponsored by the L.A. Cleantech Incubator, which  
3 I'm Founder of and Vice Chair of. And that, too,  
4 will help to coordinate activities within the  
5 lithium sector and help to enhance electric  
6 vehicle manufacturing and so forth.

7           So you know, County Board of Supervisors,  
8 IBEW, Chambers, it would all be good to show your  
9 support to these members so that we could get it  
10 to a signature.

11           Thank you.

12           MS. FERRERA: Yes. And there's way  
13 that's you can, you know, go online and look up  
14 the senate or assembly address and tell them who  
15 you are and, you know, why you support the bill,  
16 and submit it. And we can post that information  
17 on how to do that as well.

18           COMMISSIONER SOTO: Thanks Anna.

19           CHAIR PAZ: Thank you. Okay.

20           MS. DE JONG: I don't see any additional  
21 public comments at this time.

22           CHAIR PAZ: Okay. So now we're in the  
23 part of the agenda where we can hear from  
24 Commissioners on any agenda topics they would  
25 like to see discussed, speakers, presentations.

1 Commissioner Guzman Aceves?

2 COMMISSIONER GUZMAN ACEVES: Sorry. I  
3 just realized I unplugged my voice thing here.  
4 Just one second. Okay.

5 Sorry if I missed this, if there was  
6 already a commitment to this, but earlier in the  
7 day there had been a reminder to us of a request  
8 for there to be some community engagement,  
9 different forms, and really kind of making sure  
10 that there is something more structured for the  
11 communities benefit on what this is all about and  
12 what the potential opportunities are, et cetera.  
13 And I know others have spoken more specifically  
14 to it.

15 So mostly my question is: Do we want to  
16 do a working group around that and kind of have a  
17 recommendation come back to the Commission on  
18 what sort of public -- more focus in the  
19 community, obviously engagement, that we want to  
20 consider, or if we consider these meetings that  
21 and maybe have a high -- I don't have a real  
22 recommendation here, just to acknowledge that  
23 it's been suggested a couple of times. And I  
24 wonder if we should act on it?

25 Thank you.

1 CHAIR PAZ: Thank you. Yes.

2 COMMISSIONER WEISGALL: Yeah.

3 Jonathan?

4 COMMISSIONER WEISGALL: Response there.

5 Yeah, it's a terrific point, Martha. I  
6 had mentioned during my presentation, we think  
7 community outreach is absolutely critical here.  
8 We gave a town hall presentation on March the  
9 9th. I checked with Deborah at CEC staff. You  
10 know, there was a limit to the number of  
11 Commissioners we could invite because of Bagley-  
12 Keene. But you know, if we -- I think having a  
13 Commission-sponsored community meeting would be  
14 terrific, because as it was just Berkshire  
15 Hathaway Energy, although, we attracted about 150  
16 people.

17 So I think it's a terrific idea. And our  
18 goal here is transparency and outreach as we move  
19 forward. So you know, I, for one, think that  
20 that's a good idea.

21 I guess I'd ask CEC Staff, maybe, to take  
22 that up as an issue. You know, how can our  
23 Commission get out into the community as a  
24 Commission to talk about these issues? I think  
25 that's critical. And that would augment what

1 we've done as a company. But I'd be all in favor  
2 of that.

3 CHAIR PAZ: Thank you, Jonathan.

4 Rob?

5 COMMISSIONER COLWELL: Thank you.

6 Yeah, just in regard to topics,  
7 presentations, and I guess speakers, but if the  
8 Commission was up for it, I mean, we could  
9 organize. You heard from Laurel Lees. She's,  
10 you know, an expert on environmental issues. We  
11 could organize a short presentation for the  
12 Commission for the next Commission meeting, if  
13 that was appropriate.

14 And maybe just a suggestion, it would be  
15 good to have someone from, say, California GO-Biz  
16 or someone like that, that could maybe present to  
17 us on the topics of tax exemptions, you know,  
18 things like, you know, land tax, et cetera, that  
19 we've been talking about, or an enterprise zone,  
20 maybe a presentation. Just a suggestion.

21 CHAIR PAZ: Thank you.

22 Anyone else? Okay.

23 So we can now open it up for public  
24 comment.

25 MS. DE JONG: Yes. So this will be a

1 general public comment period or in response to  
2 that future meetings discussion.

3           If you're joining us via Zoom on your  
4 computer, please use the raise-hand feature. And  
5 if you called in, please call star nine to raise  
6 your hand and then star six to un-mute your phone  
7 line. We'll start with the raised hands on the  
8 Zoom application. I don't see a hand raised but  
9 I did see a comment from Pat Dobson.

10           Pat, if you are available, I have given  
11 you the ability to speak if you want to un-mute?  
12 And if not, I can go ahead and speak your  
13 comment.

14           MR. DOBSON: Sure. I just wanted to  
15 bring to folks attention that at Berkeley Lab we  
16 have a group called LiRRIC that's focusing on  
17 sort of the whole sort of source to the whole  
18 supply chain related to lithium. And we have a  
19 seminar series that's open to the public. And  
20 you can find more details at [www.lbl](http://www.lbl) -- sorry --  
21 [lirric.lbl.gov](http://lirric.lbl.gov). I've pasted the link in the  
22 chat box. And so that might be of interest for  
23 people if they see a topic. And the talks are  
24 also recorded, so you can see past seminar  
25 presentations as well.



1 MS. DE JONG: Thank you.

2 CHAIR PAZ: Thank you.

3 So this concludes --

4 MS. DE JONG: And I don't see --

5 CHAIR PAZ: Go ahead.

6 MS. DE JONG: Oh, sorry. I was just  
7 going to say, I don't see additional public  
8 comments.

9 CHAIR PAZ: Rod, were you going to say  
10 something? Okay.

11 So this concludes, I believe, our  
12 meeting, and we're ready to adjourn.

13 Just a reminder that we have already sent  
14 out -- actually, Elisabeth has sent out calendar  
15 invites for future meetings. And we're trying to  
16 keep them consistently on the fourth Thursday at  
17 the same time so you can plan ahead.

18 But thank you everybody. And this  
19 adjourns our meeting. We'll look forward to  
20 seeing you soon.

21 (The meeting adjourned at 4:52 p.m.)

22

23

24

25


1  
2

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 16th day of April, 2021.



---

ELISE HICKS, IAPRT  
CERT\*\*2176

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



---

MARTHA L. NELSON, CERT\*\*367

April 16, 2021