

DOCKETED	
Docket Number:	21-IEPR-04
Project Title:	Energy Reliability
TN #:	239339
Document Title:	Transcript - Session 1 IEPR Joint Agency Workshop on Summer 2021 Reliability - Reliability Outlook
Description:	Transcript - Session 1 IEPR Joint Agency Workshop on Summer 2021 Reliability - Reliability Outlook
Filer:	Raquel Kravitz
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	8/17/2021 11:57:58 AM
Docketed Date:	8/17/2021

BEFORE THE
CALIFORNIA ENERGY COMMISSION

In the matter of,)
2021 Integrated Energy Policy) Docket No. 21-IEPR-04
Report (IEPR))

**IEPR JOINT AGENCY WORKSHOP ON
SUMMER 2021 ENERGY RELIABILITY**

REMOTE ACCESS ONLY VIA ZOOM

TUESDAY, MAY 4, 2021

10:00 A.M.

Reported By:
Martha Nelson

APPEARANCES

Workshop Leadership

Chair David Hochschild, California Energy Commission
(CEC)
Commissioner J. Andrew McAllister, CEC
Commissioner Siva Gunda, CEC
Commissioner Karen Douglas, CEC
Commissioner Patty Monahan, CEC
President Marybel Batjer, California Public Utilities
Commission (CPUC)
President and CEO Elliot Mainzer, California Independent
System Operator (California ISO)
Deputy Secretary Matthew Baker, California Natural
Resources Agency
Deputy Director Ted Craddock, Department of Water
Resources

Staff

Heather Raitt, CEC
Edward Randolph, CPUC
Lana Wong, CEC
Robert Emmert, California ISO
David Erne, CEC
Drew Bohan, CEC
Anna McKenna, California ISO
Mark Kootstra, CEC
Harrison Reynolds, CEC
Raj Singh, CEC
Nick Fugate, CEC

CEC PUBLIC ADVISOR

RoseMary Avalos

INDEX

	Page
Introduction - Heather Raitt, CEC	4
Opening Comments from Workshop Leadership	5
Panel 1: Reliability Outlook	30
Moderator: Ed Randolph, CPUC	
A. Lana Wong, CEC	
B. Robert Emmert, California ISO	
Discussion between workshop leadership and presenters	
Zoom Q&A between workshop attendees and presenters (5 minutes, moderated by Mark Kootstra, CEC)	
Panel 2: Joint Activities for Summer 2021 Reliability	53
Moderator: David Erne, CEC	
A. Drew Bohan, CEC	
B. Ed Randolph, CPUC	
C. Anna McKenna, California ISO	
Zoom Q&A between workshop attendees and presenters (5 minutes, moderated by Mark Kootstra, CEC)	
Public Comment	101
Closing Remarks	103
Adjournment	105
Reporter's Certificate	106
Transcriber's Certificate	107

P R O C E E D I N G S

1
2 MAY 4, 2021 10:00 A.M.

3 MS. RAITT: All right, good morning everybody.
4 Welcome to today's Joint Agency Workshop on Energy
5 Reliability Through Summer 2021.

6 I'm Heather Raitt, the Program Manager for the
7 Integrated Energy Policy Report, which we refer to as
8 the IEPR.

9 Today's workshop is being jointly held by the
10 Energy Commission, the California Public Utilities
11 Commission, and the California Independent System
12 Operator.

13 This workshop is being held remotely consistent
14 with Executive Orders N-25-20 and N-29-20, remote
15 notifications from the California Department of Public
16 Health to encourage physical distancing because of the
17 COVID-19

18 The workshop schedule and presentations -- well,
19 the schedule is on our website and the presentations are
20 in the process of being posted and so, they will be
21 available on the 2021 IEPR page.

22 All IEPR workshops are recorded and both the
23 recording and the written transcript will be available
24 on the CEC's website within a few weeks.

25 Attendees have the opportunity to participate

1 today in a few different ways. For those joining
2 through the online Zoom platform, the Q&A feature is
3 available for you to submit questions. You may also
4 upload a question submitted by someone else. You can
5 just click the thumbs up icon to upload. Questions with
6 the most votes are moved to the top of the queue.

7 And so, we will reserve a few minutes at the end
8 of each of the two panels this morning to take
9 questions, but we may not have time to address all the
10 questions submitted.

11 Alternatively, attendees may make comments
12 during the public comment period at the end of the
13 morning or the afternoon sessions. Please note that we
14 will not be responding to questions during the public
15 comment period.

16 Written comments are also welcome and
17 instructions for doing so are in the meeting notice.
18 And the written comments are due May 18th.

19 And with that, I'm please to introduce
20 Commissioner Andrew McAllister, the lead for the 2021
21 IEPR. Go ahead, Commissioner. Thank you.

22 CEC COMMISSIONER MCALLISTER: Thank you,
23 Heather. Really happy to be here kicking off -- well,
24 we did one workshop on the IEPR kind of setting the
25 stage for the year in terms of the econ demo. But

1 really, this is the first truly substantive, I think,
2 panel on one of the topics that's actually in the --
3 what are the four main topics of the IEPR. So, I'm
4 really happy to be leading this year and happy to be
5 working, really, with all of my colleagues across the
6 Commission dias on various topics. So, it promises to
7 be, really I think, a productive year.

8 So, I want to acknowledge my -- we're a full
9 house here at the Energy Commission, so we have Chair
10 Hochschild, Commissioners Gunda, Douglas and Monahan.
11 Commissioner Gunda leads the reliability topic and will
12 lead that in this IEPR.

13 We're also very happy to share the dias with
14 President Batjer from the CPUC, and also President and
15 CEO Mainzer, Elliot Mainzer from the California
16 Dependent System Operator. So, thank you both for being
17 here.

18 But also, we have Deputy Secretary Matt Baker,
19 Matthew Baker from the Resources Agency. And also,
20 Deputy Director Ted Craddock from the Department of
21 Water Resources.

22 So, thank you all for being with us. Really
23 looking forward to your interaction, and comments, and
24 questions as we probe this topic of summer reliability.

25 So, really, today we all know that we have to

1 focus, we have to really have all hands on deck for
2 summer reliability this coming summer. You know,
3 obviously, we can't have a repeat of last summer. And I
4 think there's been a lot of lifting that we'll hear
5 about today in the morning and the afternoon.

6 You know, one sort of outlook for this coming
7 summer and then in the afternoon all about how we're
8 working together to confront that challenge and prepare
9 the ground for success. So, really looking forward to
10 hearing all the prep that staff across the agencies have
11 put together.

12 I want to thank the lead staff that you all will
13 hear from, from our various agencies, who have been
14 working together on this, on today's agenda and content.

15 And with that, I think I want to just wrap up by
16 saying, you know, everybody on the dais just make sure
17 to mute when you're not talking. And then, know how
18 things flow. And really, again, appreciate everyone
19 being here.

20 And with that, I'll pass it to the Chair for any
21 comments he might have.

22 CEC CHAIR HOCHSCHILD: Thank you so much
23 Commissioner McAllister, and thanks for all your
24 terrific work on our building codes, and load management
25 standards, and so much else.

1 A warm welcome and happy May 4th, everyone. As
2 they say in my family, "may the 4th be with you."

3 I wanted to just highlight that on Tuesday, the
4 National Oceanic and Atmospheric Administration, NOAA,
5 released their updated set of climate averages which
6 confirms, really, what we all know to be true. Our
7 world is warming and in some startling ways.

8 And I think, you know, the bottom line is we
9 have to do together two things. You know, we have to
10 continue to move boldly, and collaboratively, and
11 ambitiously to support a reduction in emissions in every
12 way that we're able, and we have to build resilience to
13 support our electric system that's not really not a
14 single agency, and it's not a single solution. It's
15 silver buckshot, not silver bullet.

16 And the most important things that we
17 collaborative, I just want to highlight, I believe we're
18 now working together more closely, and more
19 energetically, and more collaboratively than I've ever
20 seen in my career. And I especially want to acknowledge
21 Elliot Mainzer who's arrived at CAISO I think five
22 months ago, for just bringing a real fresh energy, and
23 outreach, and collaborative nature. And President
24 Batjer the same thing, just an incredible team that we
25 have. Including Liane Randolph, now, in her new role at

1 CARB.

2 So, I would just highlight, you know, I've asked
3 Commissioner Gunda to, you know, be our lead on electric
4 reliability. He's doing a fantastic job of that.

5 However, you know, it is something that actually we all
6 have to own in some way.

7 Commissioner Douglas has been leading our work
8 on offshore wind, which is a terrific and exciting new
9 resources we're going to, you know, be bringing to
10 California. And that will help long-term to support our
11 decarbonization and reliability.

12 Commissioner McAllister on the Energy Code. You
13 know, our last residential code cut energy bills for
14 Californian's in half, and that's part of the solution,
15 too, we'll be pushing a really exciting new code this
16 year for new construction, for the 100,000 homes a year
17 we're building in California.

18 Commissioner Monahan on transportation
19 electrification and making sure we have intelligent
20 charging protocols that support reliability and all the
21 other measures we're taking. As well as demand
22 response, and working with the PUC to support resource
23 adequacy and some of the other things.

24 So, looking forward to today's discussion and
25 just wanted to thank everyone for joining in and look

1 forward to hearing from stakeholders and my colleagues.

2 So, I'll pass it back to you.

3 CEC COMMISSIONER MCALLISTER: Great. So, I'll
4 pass the mic to Commissioner Gunda to kick us off.

5 CEC COMMISSIONER GUNDA: Thank you Commissioner
6 McAllister, Chair, and good morning to my colleagues on
7 the dais, and all the workshop attendees. Thank you for
8 joining us today and being here for this important
9 discussion.

10 Last summer's west wide extended heat wave
11 revealed areas to improve in the management of our
12 electric system and I'm glad to have the opportunity to
13 support the reliability track in the 2021 IEPR.

14 Over the year we'll explore opportunities to
15 improve state electric system reliability in a variety
16 of different forums, and a robust set of teams and
17 topics.

18 The CEC, CPUC, and CAISO have been working very
19 closely, as Chair noted, since last summer to ensure
20 that this summer we are better prepared under an extreme
21 heat wave as last year. But we recognize that we are
22 not done yet, so we have a long ways to go. We have
23 three, four months here to go in both preparing and
24 going through the summer.

25 I want to take the opportunity to recognize the

1 collaborate spirit that was set at the top of the three
2 entities by Chair Hochschild, President Batjer, and
3 President Mainzer. We collectively want to use this
4 year to not only prepare for summer 2021, but also begin
5 discussions to develop the path for long-term
6 reliability topics and issue.

7 I also want to take a moment to thank the staff
8 across the three entities for their tireless work since
9 last summer in conducting analysis, developing
10 procurement pathways, ensuring that we have
11 collaboration, and contingencies and such. The teams
12 not only include technical, but we have our coms teams,
13 leg. teams, our IEPR team, everybody working very
14 closely. So, I just want to thank everybody for your
15 tireless work.

16 Each of the organizations on the dais have been
17 working to implement the commitments that we're starting
18 to look at analysis and to respond to requests from the
19 governor on last year. The details of those actions and
20 their impact will be discussed in the second panel
21 today.

22 We also have not been doing this alone. We've
23 had help last year from several public and private
24 partners. Specifically, the Department of Water
25 Resources, and the Los Angeles Department of Water and

1 Power, and other partners have continued to work with us
2 over the last six months to plan for summer 2021.

3 Our panel this afternoon, we highlight some of
4 our reliability partners and their continued efforts to
5 support the state of the whole.

6 However, in particular preparing for the
7 summaries to understand how we think we stand today,
8 compared to last summer, and both in a situation where
9 we might have a typical summer and also an extreme
10 summer, and how are we preparing for those.

11 One of the key functions of the CEC is to use
12 the data and modeling capabilities at our disposal to
13 inform reliability planning, along with convening robust
14 analytical and policy discussions. And that's what
15 you'll see the CEC this year, beginning with this
16 workshop today that we're doing jointly.

17 You will see in the first panel an analysis that
18 our staff performed to evaluate our extended --
19 expected supply and demand this summer, often called a
20 stack analysis, since it stacks all the available supply
21 and compares it to the anticipated demand.

22 It is important to note that the focus of CEC's
23 analysis compared to what CAISO typically does for
24 summer assessment, CEC's focus is generally going to be
25 a multi-year and statewide footprint to develop a

1 situation awareness and support procurement decisions,
2 while CAISO's summer assessment work is one the state
3 relies on operational assessment for any particular
4 summer. So, we're going to be doing this jointly.

5 We are also seeing through our collective
6 analysis that the issue is net peak. As you all know,
7 the duck curve, you know, as we move towards the evening
8 hours, as the sun sets the overall solar production
9 decreases and the demand not does decrease as quickly
10 and creates this net peak issue. And this net peak
11 issue has been a key part of our planning going into the
12 summer.

13 I don't want to steal any more thunder from Lana
14 Wong's presentation in the first panel, so let me
15 conclude about talking a bit about what to expect this
16 year in IEPR reliability track.

17 We have today's workshop that primarily focuses
18 on this summer, but we want to be thinking about more
19 than just this summer as we go along the year. The CEC
20 is in the process of conducting modeling to look at
21 five-year window to support planning. We'll be
22 presenting our analysis in another IEPR workshop in the
23 next month or so, where we take on the challenge of mid-
24 term reliability planning.

25 In discussions with CPUC, CEC is going to

1 incorporate demand response into our IEPR process this
2 year in a more substantive way than what we've planned
3 for. The CPUC's rethinking of the states DR program
4 could result in a fundamental transmission DR and expand
5 an economically developed support of the --

6 CEC COMMISSIONER MCALLISTER: Commissioner
7 Gunda, sorry I want to butt in. It appears -- and this
8 is for Heather, it appears that the attendees cannot
9 hear you, even though I think the panelists can.
10 There's a lot of a chats saying people can't hear. So,
11 I wonder if there's a solution here. There may be a
12 technical muting of the attendees, but not the
13 panelists.

14 CEC COMMISSIONER GUNDA: Are they able to hear
15 you, Commissioner?

16 CEC COMMISSIONER MCALLISTER: Why don't people,
17 if you can hear me, can you write in the chat? Okay,
18 they can hear --

19 MR. REYNOLDS: I did get a response saying they
20 can hear you, Commissioner McAllister.

21 CEC COMMISSIONER MCALLISTER: Okay, they can
22 hear me, but they cannot hear Commissioner Gunda. So,
23 I'm not sure what's going on there. It seems like
24 Commissioner Gunda maybe needs to moved into panelist
25 mode or something.

1 MR. FUGATE: Commissioner Gunda, can you switch
2 back to computer audio?

3 CEC COMMISSIONER GUNDA: I'm doing it right now,
4 so let me see.

5 MS. RAITT: Some people can hear you, but some
6 people can't apparently.

7 CEC COMMISSIONER MCALLISTER: If there are any
8 attendees that can hear him, it would be good to let us
9 know, just so we can diagnose the problem quickly.

10 MS. RAITT: It looks like some of the attendees
11 can hear both.

12 CEC COMMISSIONER GUNDA: Okay, can people hear
13 me now?

14 CEC COMMISSIONER MCALLISTER: Great, that looks
15 like it's all good. Perfect. Just confirming people
16 can hear Commissioner Gunda now?

17 CEC COMMISSIONER GUNDA: Testing, maybe, testing
18 one, two, three.

19 CEC COMMISSIONER MCALLISTER: Yes, Commissioner
20 Gunda.

21 MS. RAITT: It looks like -- yeah, it looks like
22 we're good.

23 CEC COMMISSIONER MCALLISTER: Okay, let's move
24 on. Maybe you can back up and redo some of your
25 comments there, so we can keep the agenda moving.

1 Thanks for letting me butt in there, Commissioner Gunda.

2 CEC COMMISSIONER GUNDA: I think I should be
3 okay now. Can you hear me okay, now?

4 UNIDENTIFIED SPEAKER: You're cutting in and out
5 Commissioner Gunda. Maybe I can help rejoin for you.

6 CEC COMMISSIONER GUNDA: Yeah, I mean I don't
7 know how far back, Commissioner, do you want me to go.
8 Do you want me to just start at the top or --

9 CEC COMMISSIONER MCALLISTER: I think maybe
10 start at the top. I don't think people could hear you
11 right from the start.

12 CEC COMMISSIONER GUNDA: Okay, that was a great
13 training for myself.

14 (Laughter)

15 CEC COMMISSIONER MCALLISTER: Okay.

16 CEC COMMISSIONER GUNDA: Yeah, so okay, I'll
17 just start off. So, thank you, Commissioner McAllister,
18 Chair, and good morning to all my colleagues on the dais
19 and all the workshop attendees. Thank you for joining
20 us today for this important work on reliability.

21 Last summer's west wide extreme heat wave
22 revealed areas to improve in the management of our
23 electric system and I'm glad to have the opportunity to
24 support the reliability track in 2021 IEPR. Over the
25 year we will explore opportunities to improve the

1 statewide electric reliability issues.

2 The CEC, CPUC, and CAISO have been working very
3 closely since last summer to ensure that this summer we
4 are better prepared under an extreme heat wave as last
5 year. But we recognize that we are not done yet. We
6 have plenty of planning to go over the next three months
7 and really tackling the summer operationally.

8 I want to take the opportunity to recognize the
9 collaborate spirit that was set at the top of the three
10 entities by Chair Hochschild, President Batjer, and
11 President Mainzer. We collectively want to use this
12 year to not only prepare for summer 2021, but to begin
13 discussions to develop the path for long-term
14 reliability.

15 I also want to take a moment to really thank the
16 staff that have been working tirelessly since last summer
17 to ensure reliability for this 2021 summer. It included
18 not only technical teams, but we have our coms teams,
19 our leg. teams, our IEPR team and so on to come together
20 and collectively work on a variety of topics to ensure
21 that we're moving forward in a robust and cohesive
22 fashion.

23 Each of the energy organizations on the dais
24 have been working to implement the commitments we set in
25 the root cause analysis and to respond to the request

1 from the governor. The details of those actions and
2 their impact will be discussed in the second panel
3 today.

4 We also have not been doing this alone. We have
5 plenty of help. We've had help last summer from several
6 public and private partners, specifically, the
7 Department of Water Resources, and the Los Angeles
8 Department of Water and Power, and other partners have
9 continued to work with us over the last six months to
10 plan for summer 2021.

11 Our panel this afternoon will highlight some of
12 our main reliability partners.

13 However, a critical part of preparing for the
14 summaries to understand how we stack compared to last
15 year. So, we have taken analysis in two different ways
16 and we are looking at how we would fare under a typical
17 summer weather and another under extreme weather that
18 we've experienced in 2020. And we also will discuss
19 some of the contingencies we've planned for under such
20 events.

21 One of the key functions of the CEC is to use
22 the data and modeling capabilities at our disposal to
23 inform reliability planning, along with convening robust
24 analytical and policy discussions. And that is what
25 you'll see us tackling this year, beginning with this

1 important kickoff workshop on reliability

2 You will see in our first panel an analysis that
3 our staff performed to evaluate our expected supply and
4 demand this summer, typically known as the stack
5 analysis, since it stacks all the available supply and
6 compares it to the anticipated demand.

7 It is important to note that the focus of CEC's
8 analysis compared to CAISO's. CEC's focus is generally
9 going to be a multi-year and statewide footprint to
10 develop a situational awareness and support procurement
11 decisions. But we depend on CAISO's summer assessment
12 to really look at the operational assessment for any
13 particular summer. So, CAISO will be presenting today,
14 along with CEC's stack analysis to really give us an
15 understanding of the operational risks and issues that
16 we might have going into the summer.

17 And we really thank CAISO for their ongoing work
18 on summer assessments.

19 We are seeing through our collective analysis
20 that as we (audio loss) -- our renewable future and, you
21 know, the famous the duck curve, you know, we have to
22 continue to look towards thinking through the net peak
23 issue. And as most of you know, this is when the sun
24 sets the solar decreases, and the demand does not
25 decrease as quickly creating the net peak issue. And

1 this is something that we've taken into our planning
2 this year very keenly and thoroughly.

3 I don't want to steal any more thunder from my
4 colleague, Lana Wong. She's going to present on the
5 first panel to talk through some of her analysis. But I
6 do want to give some high level indication of what we'll
7 be tackling in our IEPR reliability trend this year.

8 We have today's workshop that primarily focuses
9 on this summer, but we want to be thinking about more
10 than just the summer. The CEC is in the process of
11 conducting modeling to look at five-year window to
12 support planning. We will be presenting on analysis in
13 another IEPR workshop in the next month or so, where we
14 will take on the challenge of mid-term reliability
15 planning.

16 In discussions with CPUC, CEC is going to
17 incorporate demand response into our IEPR process this
18 year in a more substantive way than -- substantial way
19 than we've initially planning. The CPUC's rethinking of
20 the state's DR program could result in a fundamental
21 transformation in DR and expand in an economical way to
22 help support reliability.

23 Assuming their staff proposal is approved, the
24 CEC stands prepared to expand their IEPR workshops and
25 their internal analysis to explore the issues they

1 identified us to supporting their efforts.

2 With the help of all the stakeholders attending
3 today, we feel very well prepared to plan for our future
4 and we look forward to your comments and your thoughts
5 on how best to prepare the state.

6 I also want to thank once again everybody that
7 is in attendance today. And I want to pass on the mic
8 to President Batjer for her opening comments. Thank
9 you.

10 CPUC PRESIDENT BATJER: Thank you so much
11 Commissioner Gunda, and thank you Chair Hochschild, and
12 thank you Commissioner McAllister, and also thank you,
13 Heather.

14 First, I want to express my appreciation to the
15 Energy Commission for including this workshop as part of
16 the IEPR proceedings.

17 One of the lessons from last August's west wide
18 heat storm is it is critical we enhance transparency and
19 better inform the public and stakeholders regarding the
20 potential challenges we see ahead of us this, and in
21 subsequent summers. This is an important venue to do
22 just that.

23 I also want to share my appreciation for the
24 commitment, and the collaboration, the leadership and
25 staff of our respective organizations have demonstrated

1 this past year. As the Chair and Commissioner Gunda
2 said, and I also wanted to welcome and say hello to
3 President and CEO Mainzer, but we have worked tirelessly
4 together, very, very collaboratively and very closely.

5 We wrote to the governor last August that we
6 shared in the responsibility for what many Californians
7 unnecessarily endured and we committed ourselves to
8 improving the state's position to withstand a similar
9 extreme weather event in the future, and to protect the
10 safety of those we serve.

11 Today we'll hear, as Commissioner Gunda has
12 said, from numerous -- of numerous tasks each of our
13 organizations and partners have completed to better
14 position the state. And though no one can predict
15 weather and resource conditions on a given date with a
16 hundred percent certainty and clarity, we know we are in
17 a stronger position than last year.

18 For the CPUC's part, we have facilitated the
19 direct procurement of capacity and the establishment of
20 new programs that have meaningfully increased demand and
21 supply side resources for this and next summer.

22 However, some of the decisions we made are not
23 ones we celebrate. Some of the incremental capacity we
24 will depend on this summer are not clean energy
25 resources. But it is because of health and safety

1 concerns we have pursued these paths for this summer.

2 During last August's extreme heat wave, we also
3 contended with COVID-19, dry conditions, and terrible
4 wildfires. And though those risks are different this
5 year, we hope, they remain considerable factors as we
6 contemplate the consequences of lost electricity to a
7 community.

8 But I want to be clear that our planning and
9 implementation of our clean energy future progresses
10 forward and will only accelerate in the months and years
11 to come. The climate change-induced events of last
12 August only further crystalize the need to build a more
13 reliable grid by way of zero carb resources.

14 The organizations here have collaborated one way
15 or another in developing the Joint Agency SB 100 Report
16 that assessed various pathways for meeting our 100
17 percent clean energy goal.

18 Our organizations are now collaborating on
19 creative planning -- critical -- excuse me, critical
20 planning efforts that will facilitate the associated
21 infrastructure build out.

22 At the CPUC we specifically are moving forward
23 to ensure procurement at the required pace to meet those
24 goals.

25 The outages last August were unacceptable. But

1 a silver lining is it has furthered our resolve in
2 protecting the health and safety of tens of millions of
3 Californians, powering the fifth largest economy in the
4 world, and leading the fight against catastrophic
5 climate change.

6 Again, I'd like to thank my organization and
7 organizational partners for the work we have done and
8 that which we must continue to do. And I look forward
9 to today's workshop.

10 Thank you again Commissioner Gunda and Chair
11 Hochschild. I think I pass it back to Commissioner
12 McAllister.

13 CEC COMMISSIONER MCALLISTER: I think we have
14 very little time left for opening comments, but I
15 certainly want to give Elliot, President Mainzer the
16 opportunity to take the floor and provide some opening
17 comments.

18 CAISO PRESIDENT AND CEO MAINZER: Well, thank
19 you Commissioner McAllister.

20 CEC COMMISSIONER MCALLISTER: And we'll give it
21 back to Acting Commissioner Gunda from there. Thank
22 you.

23 CAISO PRESIDENT AND CEO MAINZER: Thank you.
24 And I will certainly keep it brief. I want to just
25 start again by thanking Chair Hochschild and the

1 Commission for convening us today. I think this is a
2 really important meeting and I wanted to reciprocate by
3 thanking all of you, my colleagues on the dais, all of
4 you that have attended today. So, a warm welcome.

5 Since the minute I arrived in California last
6 year, really, really appreciated the spirit of
7 collaboration and, quite frankly, the focus and
8 commitment amongst all the state agencies. It has been
9 a very strong partnership. And I think if there's any
10 one lesson we learned coming out of last year, it's the
11 importance of effective communication and coordination
12 in supporting reliable power system operations.

13 I think the agenda for today, as we move to the
14 reliability outlook, the joint activities for summer
15 reliability and then later today hearing from some of
16 our other reliability partners I think is going to be
17 very, very informative. I think we'll get a chance to
18 hear a lot of the substantive work. And my hope and
19 expectation is that through the presentations, through
20 the questions, comments and the dialogue that that will
21 further help ensure that we have left no stone unturned
22 in our efforts to preserve reliability for Californians
23 this summer.

24 So, thank you very much for the opportunity to
25 be here and I'm really looking forward to the

1 presentations from staff. Back to you, Commissioner
2 McAllister.

3 CEC COMMISSIONER MCALLISTER: Great. I'll let
4 Commissioner Gunda take it from here. If we have a
5 minute, maybe we should just check with Commissioners
6 Douglas and Monahan to see if they have opening
7 comments.

8 CEC COMMISSIONER GUNDA: Yeah, Commissioner
9 McAllister, I would like to encourage if we can keep the
10 comments brief, but I definitely want to hear from
11 Commissioners Douglas, Monahan, and Deputy Secretary
12 Baker if you have any quick comments. Thank you.

13 CEC COMMISSIONER DOUGLAS: I'll just step in
14 very quickly and join in the comments of my colleagues.
15 This is an incredibly important issue and no matter what
16 we focus on at the Energy Commission, or the PUC,
17 certainly the ISO reliability becomes job one and that's
18 why, you know, this requires all of our focus and
19 attention. So, I'm very happy to be part of this,
20 thanks.

21 CEC COMMISSIONER GUNDA: Thank you,
22 Commissioner.

23 Commissioner Monahan?

24 CEC COMMISSIONER MONAHAN: Well, I'll join in
25 the chorus saying that I'm really looking forward to

1 this conversation. It's a testament to how seriously
2 all the agencies are taking this issue that there are so
3 many commissioners and leaders on board with this
4 conversation.

5 So, in the interest of time, just looking
6 forward to hearing from the panelists and having this
7 discussion.

8 CEC COMMISSIONER GUNDA: Okay, thank you
9 Commissioner Monahan.

10 Deputy Secretary Baker?

11 CALIFORNIA NATURAL RESOURCES AGENCY DEPUTY
12 SECRETARY BAKER: Yes, in the interest of time I just
13 want to thank the joint agencies' leadership and the
14 staff for doing this. And I think it's extraordinarily
15 important, particularly as we enter summer where
16 electric reliability is going to be -- you know, is
17 something we need to be concerned about in addition to
18 wildfire, and in addition to drought.

19 So, thank you very much for doing this.

20 CEC COMMISSIONER GUNDA: Thank you.

21 And Deputy Director Craddock?

22 STATE WATER PROJECT DEPUTY DIRECTOR CRADDOCK:
23 Yeah, thank you Commissioner. Likewise, the California
24 Department of Water Resources is really glad to be here
25 today to be partnering with everybody for this workshop.

1 We operate the State Water Project, which is one
2 of the largest water systems in the state. In
3 partnership with the other water agencies we have the,
4 you know, ability to support the grid with hydropower,
5 but also are a large energy user. And so, we really
6 appreciate the collaboration and close communication
7 with both the Commission and Cal ISO as we move forward
8 to operate our system and the other water systems in the
9 state closely with the grid for reliability.

10 CEC COMMISSIONER GUNDA: Thank you so much for
11 being here today. Thank you.

12 CEC COMMISSIONER MCALLISTER: I want to just
13 jump in real quick because we have another audio issue.
14 It seems like this time with Commissioner Monahan.

15 CEC COMMISSIONER MONAHAN: Yeah, I saw that.
16 Can you hear me? Can folks hear me now? I've just
17 switched to the computer audio. I'm just wondering if
18 there was some problem with the phone audio.

19 Oh, you can.

20 CEC COMMISSIONER MCALLISTER: Okay. They can
21 hear you now. Okay, great.

22 CEC COMMISSIONER MONAHAN: It appears to be an
23 issue with the phone audio.

24 CEC COMMISSIONER MCALLISTER: Okay, great.
25 Thanks everyone.

1 CEC COMMISSIONER GUNDA: Thank you,
2 Commissioner. Thank you, Commissioner McAllister.

3 With that, I'll pass it on, back to Heather
4 Raitt for getting us through the agenda. Thank you.

5 MS. RAITT: Thank you, Commissioner Gunda. I'm
6 hoping people can hear me because I've got the phone
7 audio going.

8 But I will go ahead and just introduce our
9 moderator for this first panel on reliability outlook.
10 The moderator is Ed Randolph. He's the Deputy Executive
11 Director for Energy and Climate Policy at the Energy
12 Division of the CPUC. Go ahead, Ed. Thank you.

13 CEC COMMISSIONER MONAHAN: Heather? Heather,
14 sorry to interrupt you but nobody can hear you. Yeah.

15 MS. RAITT: Nobody can hear me.

16 MR. RANDOLPH: Why don't I just go ahead and
17 take it from here since all Heather was doing was
18 introducing me, and then we can figure out Heather's
19 audio.

20 MS. RAITT: And I will -- yeah, I will
21 reconnect, thank you.

22 MR. RANDOLPH: Okay. And just kind of check as
23 well on the questions and answers, can folks hear me
24 fine?

25 MS. RAITT: Yeah, it looks like they can hear

1 you.

2 MR. RANDOLPH: Okay, can hear me fine, okay.

3 MS. RAITT: But anybody's who is on the phone
4 audio switch to the computer audio, please.

5 MR. RANDOLPH: Well, good morning everybody.
6 Good morning Commissioners and other panelists out
7 there. I'm Edward Randolph. I'm Deputy Executive
8 Director for Energy and Climate Policy at the California
9 Public Utilities Commission.

10 This first panel today will discuss analysis
11 that the California Energy Commission and the California
12 Independent System Operator have separately prepared to
13 help us assess reliability risk for this coming summer.

14 But before we start with the panelists, I have
15 been asked to provide some context to the overt outcomes
16 from the analysis.

17 As Commissioner Gunda had said, these analyses
18 were prepared for slightly different purposes and serve
19 different planning needs. While they're both helpful
20 and extremely informative in us looking at the risk for
21 this summer, the reliability risk for this summer, the
22 fact that they do start with different goals does mean
23 that they come to slightly different results.

24 That doesn't mean that there's anything
25 incorrect with the panel or we should take the

1 inconsistencies in any way, it's more a reflection of
2 their starting points and their long term -- their
3 starting points in how they approach the analysis and
4 their long term goals.

5 Also, when trying to take a look at the planning
6 models and incorporating lessons learned from last
7 summer, the models do take some conservative assumptions
8 on what our risk would be this summer and what our
9 demand would be this summer.

10 When looking at forecast peak demand from 2020
11 as the basis for assessing our ability to meet this peak
12 summer, we do need to take into account that those 2020
13 peak demands were the result of extreme heat wave
14 events. And while it is appropriate to be using that as
15 the basis for assessing this summer, that does result in
16 appropriately conservative assumptions for this summer.

17 With that caveat, I will hand it over to Lana
18 Wong to present the CEC's analysis.

19 MS. WONG: Thank you, Ed. I'm Lana Wong, Senior
20 Analyst with the Energy Commission.

21 The next slide. I'd like to present our summer
22 2021 outlook. Energy Commission conducted hourly supply
23 stack analysis to produce the outlook. Traditional
24 planning criteria is focused on looking at a single peak
25 hour, but with the increasing amounts of solar on the

1 system, assessing net peak hours later in the evening
2 has also become important. This analysis considers both
3 the peak and net peak hours.

4 We prepared two outlooks. One under average
5 weather conditions which is what we use in our
6 traditional planning criteria, and then we also looked
7 at a scenario under a west wide heat wave, similar to
8 what we saw last year.

9 The next slide. So, as Ed mentioned, we want to
10 take what we learned from 2020 and incorporate it into
11 this year's analysis. And so, on the demand side, in
12 addition to our one-in-two average weather case we are
13 looking at a much higher demand. We're using the
14 highest observed value in 2020 in our extreme case.

15 For available supply, we start with the ISO's
16 NQC, or net qualifying capacity list of existing
17 resources that are used for resource adequacy. From
18 there we need to project what new resources are expected
19 to come online this summer. We've included the PUC's
20 expedited procurement in our analysis.

21 For demand response, or DR, we're using a
22 conservative assumption. And in our extreme case we're
23 limiting imports to a five-year average RA, or resource
24 adequacy contracted amount.

25 Solar, we are modeling solar on an hourly basis.

1 We are using our Energy Commission PLEXOS model's hourly
2 solar shapes to capture the decline in solar output as
3 the sun goes down.

4 And then lastly, on the planning side we are
5 using a slightly higher planning reserve margin in our
6 extreme case to account for higher unplanned outages
7 that we've seen in recent years.

8 So, in our traditional planning criteria we use
9 15 percent for a planning reserve margin and unplanned
10 outages are 5 percent of that 15 percent. And we
11 increased that to 7 and a half percent in our extreme
12 case.

13 The next slide. This slide goes over our import
14 assumptions. The last row is what we are modeling.
15 This shows our average resource adequacy contracted
16 amount. And that amount does not include economic
17 imports. Economic imports are resources that are priced
18 less than internal generation. Recognizing that
19 economic imports could be realized, a small amount is
20 assumed in the average case. But we assume those vanish
21 in our extreme heat wave case.

22 The next slide. The next two slides cover the
23 results of our average case. The X-axis presents the
24 hours between 3:00 and 8:00 p.m. This is our peak and
25 net peak period. The Y-axis presents a stack of the

1 resources across the hours. And the dark orange line
2 represents the system requirement for our average
3 weather year demand, plus the 15 percent planning
4 reserve margin.

5 And note that the royal blue bars, that
6 represents our solar output and you can see that decline
7 as we go into the evening hours.

8 So, the results show that the supply stack bars
9 are above the dark orange line. Resources are
10 sufficient to meet our target system requirement.

11 The next slide. This slide shows the results
12 for September. And in general, resources are slightly
13 lower in September primarily due to less hydro and
14 solar. So, the supply stack bars are above the dark
15 orange line. The results show that resources are
16 sufficient to meet our target system requirement.

17 The next slide. In establishing the extreme
18 scenario demand, we looked at demand data from last
19 summer. So, we know that actual demand was lower due to
20 the extraordinary mobilization by the energy agencies,
21 governor's office, ISO and other balancing authority
22 areas, load serving entities, and the public, which
23 resulted in significant demand reductions during August
24 and September.

25 So, to determine the best counter factual demand

1 of what could have been the demand, absent the
2 extraordinary mobilization, we looked at the ISO day
3 ahead forecast.

4 So, the orange band shows the range of the day
5 ahead demand forecast. The green dotted line represents
6 the average weather year demand or planning criteria.
7 The red solid line or curve shows the max day ahead
8 forecast, which exceeded the average by nearly 13
9 percent, or 5,600 megawatts. The yellow solid line or
10 curve shows the actual demand, which exceeded the
11 average by almost 5 percent or about 2,000 megawatts.

12 And the difference between these solid lines can
13 be attributed to the significant efforts to reduce
14 demand, the other variable being weather changes.

15 So, as a side note, of that 15 percent planning
16 reserve margin 4 percent of that is to accommodate a
17 deviation from 1-in- 2, or our average weather demand.
18 And the actual demand and max day ahead were above that
19 level.

20 The next slide. This slide shows the same data
21 for September. And here we've got actual demand about 4
22 percent above the average, or about 1,800 megawatts.
23 And the max day ahead was about 10 percent above the
24 average or about 4,500 megawatts.

25 The next slide. This slide shows our solar

1 production for last August. And the orange shade
2 represents the range of solar in August. And several
3 key days from August are plotted, the days before,
4 during and after the outages. And the green dotted line
5 shows the RA obligation.

6 So, the chart shows that actual solar output is
7 above or below that actual RA obligation. And the key
8 area to focus on are the hours between 6:00 and 8:00
9 p.m., where we could see that we lose almost 3,000
10 megawatts of solar production in two hours.

11 The next slide. The next two slides present the
12 results of our extreme heat wave scenario. And a few
13 things to point out. No economic imports are assumed in
14 this case. And we start with the max of the day ahead
15 demand forecast and we add in 6 percent for operating
16 reserves, and that higher 7 and a half percent for
17 forced outages to get our system requirement, which is
18 the dark blue line.

19 So, the supply stack bars are below the dark
20 blue line in the later evening hours, between 6:00 and
21 8:00 p.m. So, resources are insufficient to meet our
22 target system requirement, which would trigger the use
23 of contingencies.

24 The next slide. This slide shows the results
25 for September and this is the worst of the worst

1 scenario. So, the supply stack bars are below the dark
2 blue line in the later evening hours, between 5:00 and
3 8:00 p.m. Resources are insufficient to meet our target
4 system requirement, which again would trigger the use of
5 contingencies.

6 And so, as a reminder in this extreme case we
7 are assuming a higher level of the demand, our max of
8 the day ahead forecast. We are also assuming
9 conservative resource assumptions. No economic imports
10 are assumed. And a more conservative demand response
11 assumption. And also, a higher planning reserve margin.

12 These results do not account for contingency
13 measures in place. And contingency measures will be the
14 discussion of later panels today.

15 The next slide. Lastly, I'd like to tee up
16 resource analysis that is underway at the Commission.
17 We are undertaking a midterm resource assessment out
18 through 2026. We are running a stochastic analysis with
19 varying combinations of wind, solar, load and generator
20 outages. This will be the subject of an upcoming
21 workshop, tentatively scheduled for early July. So,
22 watch for that information coming out.

23 That concludes my presentation. Thank you.

24 MR. RANDOLPH: Thank you, Lana for that
25 excellent presentation.

1 Next, we will move on to Bob Emmert, who is the
2 Senior Manager for Interconnection Resources at the
3 California Independent System Operator. Bob, the
4 proverbial floor is yours.

5 MR. EMMERT: All right, thank you Ed, and good
6 morning everybody. So, I'll be going over the
7 preliminary summer assessment results for the ISO.
8 These are preliminary at this point, although we do not
9 anticipate there will be any changes in these results.
10 But we keep them as preliminary until we actual publish
11 our official summer assessment report, which will be
12 published as part of the May Board meeting board
13 materials.

14 So, next slide please. The ISO summer
15 assessment is an operational-based assessment where we
16 focus on preparing the ISO, our operators, as well as
17 market participants for the range of operating
18 conditions that we see throughout the summer both in
19 normal type conditions, and as well as the more extreme
20 operating conditions that we would expect to see so that
21 our operators and market participants can really be
22 better prepared for what they may be seeing across the
23 summer.

24 For 2021, we layered in a deterministic
25 assessment, a stack analysis much like the CEC did, and

1 those are included as part of our results, along with
2 our stochastic production cost modeling work that we do,
3 which is our standard summer assessment work that we do
4 year over year.

5 And this table shows the differences of the
6 inputs and assumptions of those two types of analyses.
7 Where for the stack analysis we used the CEC 2020 IEPR
8 1-in-2 load forecasts for 2021, the resource capacity
9 levels are based on RA net qualifying capacities.

10 Since we are looking at the most extreme hour of
11 8 o'clock during the month of September, solar is
12 considered to be at zero output during that time. For
13 hydro and wind, we are using the effective load carrying
14 capability based values. And the amount of demand
15 response under stack analysis was discounted by 50
16 percent to reflect the actual performance of shown
17 demand response that we saw in 2020.

18 Moving over to the stochastic analysis, where we
19 run 2,000 different scenarios, we've used ISO-developed
20 range of weather-driven load forecasts to develop those
21 2,000 scenarios. We used dispatchable. For the
22 dispatchable resources that we model, they're based on
23 the RA net quality capacity. We model all hours of the
24 summer, as compared to just looking at one hour in the
25 stack analysis. And we use generation profiles for

1 renewables in a combination of dispatchability and
2 profiles for hydro.

3 And for demand response we rely on a projection
4 of what the demand response amounts would be, rather
5 than using a discounted process.

6 So, the next slide, please. So, this stack
7 analysis is focusing in on the 8 o'clock hour, 8:00 p.m.
8 of September 2021 and we're looking at three different
9 scenarios here. And the differences between these
10 scenarios, as you move from the left to the right bars,
11 is we start out with the RA import capability which is
12 based off of an average of the last six years of RA
13 import procurements. So, consider that kind of the
14 starting point.

15 And then, moving to the middle bar we move up to
16 an additional, about 2,600 megawatts of RA procured
17 imports which is equal to roughly 8,400 megawatts, which
18 is the maximum amount that we've seen for RA procured
19 imports for the month of September, and that took place
20 last year.

21 And then, the right bar adds an additional 1,000
22 megawatts of economic imports above the RA contracted
23 amounts.

24 And so, each of these bars we're looking to see
25 how they reach various levels. Where the far left bar,

1 the total capacity is a bit below the 15 percent
2 planning reserve margin in the 17 and a half planning
3 reserve margins we were expecting for this summer. So,
4 under those conditions for the month of September, at 8
5 o'clock, we're a bit short on resources.

6 Now, moving to the middle bar, with the
7 additional resources up to 8,500 megawatts of imports,
8 we are able to meet both the 15 percent and the 17
9 percent planning reserve margin.

10 And then, finally, looking at the far right bar
11 we are able to meet the loads that are represented by
12 the top dashed line which is the day ahead forecast for
13 the day of August 18, 2020. And that dashed line
14 represents that load plus 6 percent operating reserves,
15 and includes a discounted based on a 7 and a half first
16 outage rates.

17 So, what this was really designed to demonstrate
18 was the importance of imports above the amount of
19 capacity that we have available within the ISO, under
20 the RA programs. That as we increase imports, we
21 increase the level of reliability that we have on the
22 system.

23 The next slide, please. So, moving to the
24 stochastic analysis for 2021, these results are provided
25 based on probabilities of crossing to stage 2 and stage

1 3 alert operating reserves threshold. Where a stage 2
2 operating reserve threshold is at 6 percent operating
3 reserves and declining. And the stage 3 threshold is at
4 3 percent operating reserves and declining. And the
5 stage 3 alert is the point where the ISO would be likely
6 in the mode of shutting firm load to maintain operating
7 reserves at, at least 3 percent.

8 So, to look at the probability of a stage 2
9 compared to 2020, the 2021 numbers are lower than -- or
10 the probabilities are lower than in 2020. So, the
11 probabilities are somewhat lower under typical import
12 levels and are significantly lower under conditions of
13 limited imports.

14 Moving down to the stage 3 condition, the
15 probability is essentially unchanged for typical import
16 levels and the probability has decreased under
17 conditions of limited imports, but is only marginally
18 better than the stage 2 levels. And the conditions that
19 impact these results are the new resources that we have
20 coming online for this coming summer. We are in the
21 second year of low hydro conditions.

22 The ISO load forecasts are essentially unchanged
23 at the 1 and 2 level. And in incorporating last year's
24 actual weather events into the historical weather
25 databases has brought the extreme weather event into the

1 range of a 1 in 10 load level for the ISO forecast,
2 which significantly increases how much a 1 in 10 exceeds
3 a 1 in 2 load condition.

4 And so, that particular point is really the
5 reason why we see that the probability of the stage 3
6 alert has not improved as much as the stage 2 alert
7 conditions because we're seeing these higher load levels
8 play out in those more extreme scenarios from the
9 assessment that are in the stage 3 operating conditions.

10 So, the results demonstrate increased
11 reliability under most conditions, but last year's
12 weather events are now considered more probable.

13 So, moving on to the next slide. This shows the
14 hours of greatest risk in the samples where the reserve
15 margins were deficient, either at 6 percent or less.
16 And the point of this slide is just to show that the
17 hours of greatest risk are really those hours where we
18 have low to no solar generation occurring. And so,
19 these hours where the net peak is post-solar production
20 is really showing those hours we're seeing the greatest
21 risk to the system.

22 Moving down to the next slide. So, this is a
23 comparison of conditions for 2021 compared to last year,
24 where this year we have approximately 2,200 megawatts of
25 additional available capacity. Hydro conditions are

1 about 5 percent lower compared to last year, where the
2 snowpack, snow water content for this year peaked at 60
3 percent of average which is similar to the 2013 hydro
4 year. We do a look back where we look at the last years
5 that we're experiencing now, and look for a similar
6 three-year pattern of hydro in history. And then, we
7 use those hydro, actual hydro generation profiles and
8 monthly energy amounts in our model.

9 And the 1 in 2 load levels are very little
10 different compared to last year, only 70 megawatts
11 between our 2020 and 2021 peak demand forecasts. And
12 our ISO forecast is trending a bit higher than the CEC
13 IEPR 1 in 2 load forecast, we're about 1 percent higher
14 than their forecast.

15 So, comparing the forecasts for 2020 to 2021,
16 looking at the various levels, when comparing the
17 forecast to the 1 in 2 forecast levels last year's
18 forecast was 4 percent higher at the 1 in 5 level. And
19 the 1 in 10 forecast level was 6 percent higher than the
20 1 in 2 forecast.

21 Looking at the 2021 forecast, the 1 in 5
22 forecast remains at 4 percent higher than the 1 in 2
23 forecast. But the 1 in 10 is 11 percent higher than the
24 1 in 2 forecast this year. And the higher load levels
25 associated with the 1 in 10 are attributable to the

1 increasing -- are including last year's weather events
2 into the stochastic analysis.

3 So, to the next slide. Looking at our
4 conclusions, overall capacity conditions are better
5 compared this year than 2020, but the grid remains
6 vulnerable to high loads and available imports during
7 widespread heat events, especially with significantly
8 below normal hydro conditions this year.

9 The retaining of gas-fired generation and added
10 storage improve expected performance for 2021. Storage
11 is expected to be effective in supporting system
12 capacity needs when added to the system.

13 I think it's worth noting, though, that this
14 year we will have ten times more battery energy storage
15 on our system compared to last summer. And we are
16 working with operators of these systems as they ramp up
17 on our learning curve on how they actually operate those
18 battery energy storage systems.

19 And the probabilistic measures based on historic
20 performance now reflect last year's conditions. And as
21 a result, a 1 in 10 condition now reflects higher load
22 patterns than in past years' studies.

23 So, with that, that ends my presentation and I'd
24 be willing to answer any questions.

25 MR. RANDOLPH: Thank you, Robert. And before I

1 hand it over to the panelists for questions, just to do
2 a quick summary of the two panels here, the two analyses
3 here. On a high level, you know, what we see is that
4 going into 2021, due to a number of efforts on the other
5 agencies which we will talk about in more detail on the
6 next panel, we are in better shape this year than we
7 were in 2021 -- or in 2020, sorry.

8 If we look at, in 2021 an average weather year
9 in both the CAISO analysis and the CEC stack analysis,
10 you know, we should be in good shape. However, if there
11 is a repeat of extreme weather events, especially a west
12 wide event similar to last summer, there still is going
13 to need to be reliance on contingency measures, which
14 actually another panel will discuss some of those
15 contingencies out there.

16 And I think it's worth noting to work through
17 some of the technical detail in there, a key dependency
18 we will have in a lot of different conditions is our
19 ability to import and rely on energy from other parts of
20 the west out there. So, that is a key issue we're going
21 to have to watch as we move into the summer.

22 With that, I will hand it over to the panelists
23 for questions. And I think, panelists if you have
24 questions raise your hands or -- I'm not sure if I'm
25 moderating or somebody else is.

1 CEC COMMISSIONER MCALLISTER: Yeah, maybe we can
2 -- go ahead, Commissioner Gunda.

3 CEC COMMISSIONER GUNDA: Yeah, I think Mark
4 Kootstra is on point helping moderate some of the
5 questions on this panel.

6 MS. RAITT: Actually, this is Heather. If
7 anyone on the dais has any questions, this is the
8 opportunity. And if we don't have any questions, then
9 we'll go to Mark Kootstra with the Zoom Q & A.

10 CEC COMMISSIONER MCALLISTER: I want to -- maybe
11 I'll just jump in real quick. Oh, sorry Elliot, were
12 you going to go ahead.

13 CAISO PRESIDENT AND CEO MAINZER: No, no, go
14 ahead.

15 CEC COMMISSIONER MCALLISTER: I guess I just
16 wanted to dig in a little bit to this west wide issue
17 and understand how we have assessed those risks right
18 there at the end that were brought in the conversation,
19 in the presentation, and kind of what the plan is for
20 that going forward to get a better handle on the risks
21 associated with, you know, non-California issues out
22 within the WECC.

23 MR. EMMERT: So, this is Bob. I can speak to
24 what we've done in our analysis. We run two different
25 probabilistic model runs. One we look at imports at

1 higher levels, declining as load increase, but based --
2 you know, we use a nomogram to develop those import
3 levels based on historical imports. So, we looked at it
4 from that stand point.

5 And then we did a scenario analysis to where we
6 limit the imports on a monthly basis to the average
7 amount of RA imports that were procured over the last
8 six years. So, that is a methodology that the ISO uses
9 to really take a look at the lower end of imports which
10 really is the result of primarily other balancing
11 authorities outside the ISO being in a coincident heat
12 wave with the ISO to where they're needing all the
13 surplus energy they have for their own loads, and have
14 less available to export to the ISO. And we consider
15 that sensitivity run really kind of our bookend of to be
16 able to take a look at what are the most extreme
17 conditions we might expect to see during the summer.

18 CEC COMMISSIONER MCALLISTER: That's reflected
19 in the 1 in 10 you talked about?

20 MR. RANDOLPH: Yes.

21 CEC COMMISSIONER MCALLISTER: Thank you.

22 CAISO PRESIDENT AND CEO MAINZER: I do have one
23 question. One of the panel -- can you talk about both
24 the base assumptions -- maybe I'll start this with the
25 CEC. Maybe talk about the base assumptions around

1 demand response that are built into your stack analysis
2 and what other contribution would we expect or need from
3 demand response resources in conservation during the
4 really extreme heat wave scenarios. And just a little
5 bit of talk about that as to how that plays into the
6 ability to maintain reliability under those extreme
7 conditions.

8 MS. WONG: So, this is Lana. For the demand
9 response assumption we are using a more conservative
10 assumption. We're starting with the utility demand
11 response program levels and discounting that by 40
12 percent. And so, it is a more conservative assumption
13 that we've incorporated into our analysis.

14 CAISO PRESIDENT AND CEO MAINZER: Okay. Bob, do
15 you want to add anything to that for us?

16 MR. EMMERT: Yeah. Yeah, I would add that, you
17 know, one thing our model really doesn't have the
18 capability of doing is rolling into the results what
19 would happen under issues such as the Flex Alert
20 programs that we have available to us that bring a
21 certain amount of additional voluntary load reductions,
22 as well as what occurred last summer where we had some
23 significant load reductions due to what the governor did
24 for state buildings and other areas that are pretty
25 significant.

1 So, in extreme conditions it's very likely that
2 we could be relying on those and I believe that the
3 practice that we got last summer will actually help us
4 to implement those programs more effectively to limit
5 any issues we might find in very extreme conditions.

6 MR. EMMERT: Thank you.

7 MS. WONG: Right. And adding to that, the
8 contingency measures that are in place we have not
9 accounted for them in the analysis. So, the results are
10 more conservative and we anticipate contingency measures
11 being able to help, like the Flex Alert Program.

12 CAISO PRESIDENT AND CEO MAINZER: Yeah, and I
13 know in the next panel we'll have a chance to talk a
14 little bit more about the sort of systematic approach
15 the state's taking to demand response preparation help
16 under those really extreme circumstances, which I think
17 may be a key part of our operating strategy for the
18 summer. So, thank you.

19 CEC COMMISSIONER GUNDA: Yeah, President
20 Mainzer, I think I just want to add one comment that I
21 think to your question. So, as we developed the stack
22 analysis, we looked at DR performance through the lens
23 of the RCA. But I think moving forward I think we all
24 collectively agree there's a much better opportunity for
25 DR, and we hope to tackle that in the workshops this

1 year to better quantify that. Whether it means to
2 adjusting the same day adjustment baseline, or whether
3 that means in another way to account it more accurately.
4 So, I think that's something we'll tackle and including
5 the analysis moving forward. Thank you for raising
6 that.

7 CAISO PRESIDENT AND CEO MAINZER: Thank you.

8 MS. RAITT: Thank you. This is Heather Raitt.
9 If it's okay, we can take a few minutes to take
10 questions from Zoom here today.

11 CEC COMMISSIONER GUNDA: Absolutely. Please do
12 that.

13 MS. RAITT: Great, thank you.

14 So, Mark Kootstra from the Energy Commission is
15 going to be moderating that. And Mark is the -- he's
16 the Supervisor for the Planning and Modeling at the CEC.
17 Go ahead, Mark.

18 MR. KOOTSTRA: So, these questions all came
19 through while, Robert, you were talking.

20 It appears that the CalISO is using the CEC 1 in
21 2 noncoincident net peak in its stack analysis and not
22 the forecast in load at 8 PM. Is that correct?

23 MR. EMMERT: That's correct.

24 MR. KOOTSTRA: Great. And then, how much is the
25 ISO relying on hydro generation import this year

1 considering the drought and what are the backup plans if
2 hydro comes less than projected?

3 MR. EMMERT: Well, the analysis that we do, we
4 don't really pinpoint or try to quantify what type of
5 imports that we are actually bring in. It's a
6 production cost model, so the model finds whatever are
7 economic imports up to the limits of -- the import
8 limits that we have in the model. So, it could come
9 from any of a number of sources.

10 I will speak to that in the Northwest the hydro
11 conditions that we looked at show that they're about 90
12 -- I think it was about 91 percent of average. No,
13 excuse me, it was 89 percent of average in the Northwest
14 for their hydro conditions. So, they should have, you
15 know, adequate hydro for us to import, if they're not
16 needed at all for their own loads.

17 MR. KOOTSTRA: And then, how much of the 10X
18 batteries that we're seeing are for the ancillary
19 services market?

20 MR. EMMERT: Well, they can be for either. It's
21 however they have bid into the market and how they are
22 actually utilized. So, they can be utilized to actually
23 provide energy for load or they can provide ancillary
24 services. So, it's going to depend on how they're
25 utilized on a day-by-day basis.

1 MR. KOOTSTRA: And then one more question before
2 we close out. Does the import estimate assume the
3 extreme heat event is west wide?

4 MR. EMMERT: Yes. We're -- basically, in the
5 sensitivity run that we ran, we assume that we are
6 limited to imports based on what was procured under the
7 RA program and that we are not able to have additional
8 imports that are typically the economic imports that we
9 enjoy at time of peak loads when it's a non-west wide
10 heat event.

11 MR. KOOTSTRA: Thank you very much.

12 MS. RAITT: Great, thank you Mark.

13 So, with that we can move on to our second panel
14 on joint activities for summer 2021 reliability. And I
15 should introduce myself again. Heather Raitt, for those
16 on the phone that can't see.

17 And David Erne with the Energy Commission is the
18 moderator for this panel. And David is the Manager for
19 the Supply Analysis Office at the Energy Commission. Go
20 ahead, David. Thank you.

21 MR. ERNE: Thank you, Heather. And good morning
22 to the Commissioners and other panelists on the dais, as
23 well as our attendees.

24 I'm going to do a quick sound check. So, if I
25 can ask Drew, Ed, and Anna to chime in we'll see if

1 collectively everyone can hear us before we commence
2 with the panel.

3 MR. BOHAN: Good morning, David. Drew here.
4 Can you hear me?

5 MR. ERNE: I can hear you fine. I'll see if
6 others can.

7 MR. RANDOLPH: Yes, and I can hear Drew as well.
8 And once again this is Edward Randolph.

9 MS. MCKENNA: And good morning everybody, this
10 is Anna. Can you hear me?

11 MR. ERNE: I think. Let's see if we can get a
12 response. I can hear everyone fine.

13 CEC COMMISSIONER MCALLISTER: Drew, I think from
14 the dais we're hearing fine.

15 MR. ERNE: From the audience, can they type in
16 and say if they can hear all four?

17 MR. EMMERT: We're getting lots of all goods.

18 MR. ERNE: All right, it looks like we have this
19 worked out. This is fantastic.

20 So again, thank you everyone. This is our joint
21 panel for the summer of 2021 reliability. So, this is
22 each of the energy entities are going to give an
23 overview of their activities to support this summer's
24 reliability. And that is work that has been proceeding
25 actually prior to the RCA that's coming into fruition

1 this year, and activities that have been taken after the
2 root cause analysis. They're either complete or
3 ongoing.

4 So, we have a pretty robust discussion from each
5 of the panelists. They'll be giving an overview of what
6 each of them are doing. You'll see there's a fair
7 amount of depth and breadth to the activities and this
8 is why it's a rather extended panel discussion to give
9 each an opportunity to talk in detail about the
10 activities.

11 And I think what you'll also find, as was
12 mentioned this morning by the dais members, I know
13 Commissioner Gunda and President Batjer mentioned the
14 collaboration and coordination among the three entities
15 has been very substantial this year to prepare for this
16 coming summer.

17 So, with that let me do quick introductions for
18 each of our panelists. So, our first panelist is going
19 to be Drew Bohan, who's the Executive Director of the
20 California Energy Commission.

21 He'll be followed by Ed Randolph, Deputy
22 Executive Director for Energy and Climate Policy at the
23 Energy Division at the California Public Utilities
24 Commission.

25 And then following him will be Anna McKenna,

1 Interim Vice President of Market Policy and Performance
2 at the California Independent System Operator.

3 So, those are our three panelists today. And I
4 will turn it over to Drew for him to begin his
5 presentation.

6 MR. BOHAN: Well, thank you David. And thank
7 you, Chair Hochschild and Commissioners, President
8 Batjer, and President Mainzer, Deputy Secretary Baker,
9 and Deputy Craddock for the opportunity to present to
10 you this morning. And I want to also thank Heather for
11 pulling this all together. It's a monumental task.

12 As David noted, in this panel you're going to
13 hear about how the agencies are responding to Governor
14 Newsom's request that we work together to improve
15 reliability.

16 This slide is an overview of the three agencies'
17 joint planning roles. The map of California shows the
18 various balancing authorities in California. The light
19 orange, which dominates, represents California ISO's
20 balancing authority territory, which is about 80 percent
21 of the state.

22 And this roughly, though not precisely,
23 corresponds to the PUC's jurisdiction.

24 This morning's panel is about each of the
25 agencies roles, starting with the CEC. We have a number

1 of planning roles. In particular, we're tasked with
2 developing statewide common planning assumptions. This
3 includes the single forecast set which serves as the
4 basis both for the CPUC's procurement and for Cal ISO's
5 transmission planning.

6 We also develop scenarios based on
7 probabilities. One in 2, 1 in 5, 1 in 10, 1 in 20 for a
8 variety of different purposes.

9 What we learned last summer is that we have to
10 build upon our past analyses and develop new analytical
11 products like reliability analyses, which we'll focus on
12 next.

13 The rest of this presentation focuses on CEC's
14 work to support reliability this summer and going
15 forward. And we're working in four areas.

16 The first is simply an enhancement of our
17 traditional role, forecasting demand.

18 The second involves new analytical tools. I'm
19 going to focus this morning on reliability assessments
20 and distributed energy resources.

21 The third is contingency planning. We have
22 broad authority under what is known as Emergency
23 Function 12, or ESF 12. But this morning we'll focus on
24 the contingency planning aspect in the electricity
25 sector.

1 And fourth is a suite of other activities
2 involving several of our divisions at the Energy
3 Commission.

4 So, first let's drill a little deeper into our
5 demand forecasts. The CEC's data and analysis role goes
6 back to the 1970s. The '70s was a volatile time. Some
7 of you might remember the long lines at gas stations, as
8 depicted in this photo here. But at the same time,
9 electric load was growing at an unsustainable rate of 7
10 percent per year. The CEC was established in 1975 by
11 the Warren-Alquist Act that directed the CEC to do a
12 number of things aimed at addressing this challenge.

13 One of the main ones that we were tasked to do
14 was to develop a detailed, data-drive, long term demand
15 forecast. The goal was to prepare and objective set of
16 planning assumptions for the entire state.

17 Over the years the CEC has built one of the
18 world's strongest teams of professionals focused on
19 analyzing energy issues.

20 The basic need for demand analyses hasn't
21 changed. However, the system has gotten a lot more
22 complex and today's forecast is but a distant cousin of
23 its 1975 ancestor. It now includes energy efficiency, a
24 concept that barely existed at the time. Renewables,
25 battery storage, and EVs, also new concepts. Climate

1 change, barely acknowledged at the time. Weather
2 variance by geographic resolution, and hourly profiles.

3 Today the forecast is used in a variety of CPUC
4 and Cal ISO proceedings, including resource adequacy,
5 IRPs, distributed resource planning, and transmission
6 planning.

7 Going forward, the CEC's first reliability task
8 is to enhance our demand forecasts to meet the
9 challenges of an evolving and ever more complicated
10 grid. In the 2020 IEPR we included for the first time a
11 1 in 30 forecast. Last summer was a stark reminder of
12 how extreme weather events were becoming more common.

13 The CEC's forecasting team is coordinating with
14 our research team to explore ways in which climate
15 models can better inform our understanding of the
16 likelihood of extreme weather events in the coming
17 years.

18 They're also going to extend the forecast beyond
19 the usual 10-year horizon out to 2035. This will
20 provide a reference point for longer term goals, most
21 notably Governor Newsom's executive order targeting the
22 end of new internal combustion engine sales by 2035.

23 And finally, our team is expanding the way in
24 which we do our forecasts.

25 Before moving on, I would just note that many of

1 these forecast enhancements were requested by Governor
2 Newsom in his letter last summer to the three agencies.

3 The next thing the CEC is doing to improve
4 reliability is to launch two new analytical products,
5 reliability assessments and DER assessments. Our
6 reliability assessments will look at the near term,
7 midterm, and long term.

8 Our near term assessment is focused squarely on
9 this upcoming summer. It's supposed to get over 90
10 degrees today in Sacramento, it's almost there, so this
11 is timely. In the last panel, Lana presented the
12 results of our 2021 summer reliability analysis.

13 We're looking at a variety of conditions -- the
14 next slide, please. We're looking at a variety of
15 conditions with the focus on the possibility of
16 unusually hot summer days. And going forward we will
17 produce this near term analysis every February and
18 incorporate lessons we learned throughout the year.

19 Midterm assessments are going to look five years
20 ahead to support the CPUC's procurement of generation
21 resources. Again, as Lana noted, we are just now
22 beginning to examine the 2021 to 2026 timeframe. This
23 longer period allows us to tweak weather conditions,
24 resource build outs, and retirements, and see how they
25 impact the grid. We are currently developing our

1 approach and will present it in an upcoming IEPR
2 reliability workshop.

3 And then, we have long term assessments. These
4 are the most complex and they're going to be tied to our
5 SB 100 planning. One can imagine a nearly infinite
6 combination of renewable energy build outs with
7 different amounts of wind, solar, geothermal and other
8 resources located throughout different parts of the
9 State of California.

10 We'll examine a number of representative build
11 outs and look at the types of transmission
12 configurations that could support those build outs. So,
13 that's reliability assessments.

14 The other new analytical product we're
15 developing involves assessments of DERs. We're in the
16 early phase of looking at a number of questions. How do
17 DERs perform? For example, how does solar operate under
18 different conditions, like cloudy or smoke-filled days?
19 How does wind perform over a sustained period of time?

20 We plan to look back several years with the vast
21 amount of data we're compiling on energy consumption,
22 and look at the performance of DERs and how they impact
23 reliability. We'll work with our Research Division to
24 identify opportunities to develop technologies to better
25 take advantage of DERs.

1 The third area we're focusing on to address
2 reliability is contingency planning. The root cause
3 analysis called on the CEC to develop a contingency plan
4 in coordination with CPUC and Cal ISO. The purpose of
5 the contingency plan is to institutionalize many of the
6 activities that were performed last summer to reduce
7 load and provide additional generation. The plan will
8 identify all potential contingency measures and which
9 agency will lead each effort. It will identify
10 potential megawatts that each resource might be able to
11 provide. It will lay out a clear communication protocol
12 among the agencies to coordinate activities in real time
13 both before, during, and after an event.

14 The CEC will continue to work with CAISO, like
15 we did last summer, to engage with entities that don't
16 fall under CPUC jurisdiction but are able to provide
17 support to the CAISO area grid. These entities include
18 Department of Water Resources, the L.A. Department of
19 Water and Power, and other balancing authorities in the
20 state. You'll hear more from a couple of those folks
21 later, in the afternoon session.

22 Finally, let's take a look at what we're
23 collectively calling other activities that the CEC works
24 on that we're trying to leverage to improve system
25 reliability. Last summer we reviewed all of our

1 programs and processes to see how we might do this.

2 Our Siting Division, for example, manages the
3 CEC's Power Plant Program and provides regulatory
4 oversight of jurisdictional power plants beginning with
5 permitting, during construction and operation, and
6 finally a closure. At present, there are 76 operational
7 power plants generating 27,000 megawatts of electricity
8 in California.

9 Working with operators, we identified up to 122
10 megawatts of software upgrades and other improvements to
11 increase output. We're currently working on permit
12 amendments through an open public process.

13 Late last summer, the CEC also began -- we're
14 kind of jumping ahead here, thank you. Late last summer
15 the CEC also began working to support improvements in
16 the demand response programs. This February we convened
17 a Demand Response Roundtable in collaboration with CPUC
18 and CAISO. The roundtable consists of demand response
19 providers in the state and enables more dialogue about
20 the problems with DR that became more evident last year
21 during the heat wave.

22 The roundtable has improved our understanding of
23 how the current approach may be under-counting DR,
24 particularly during heat waves. The CEC intends to
25 continue to include demand response in future IEPR

1 workshops to review how the program can be improved to
2 support reliability.

3 A recent CPUC staff proposal, under the resource
4 adequacy proceeding, asks the CEC to address specific DR
5 topics in this year's IEPR and we plan to work on that
6 this year.

7 The CEC also initiated a load management
8 rulemaking in 2020. The rulemaking is designed to
9 develop statewide standards that can be used to
10 reimburse customers who reduce their load or shift it to
11 another time to benefit the grid and reduce greenhouse
12 gas emissions. This rulemaking will support the entire
13 state, including IOU and POU territories, with improved
14 access to demand flexibility.

15 Finally, the next slide, we looked to our EPIC
16 Program to see how research might best contribute to
17 reliability.

18 You can jump to the next slide, please. EPIC is
19 California's premier public interest research program.
20 The CEC, through this program invests over \$130 million
21 annually to fund innovative clean energy technology
22 research. Over the last several years, the CEC has
23 invested \$74 million in EPIC funding to support load
24 flexibility.

25 The next slide, please. Recently, we approved

1 three new projects to improve demand reduction
2 technologies that will result in direct benefits this
3 summer. The first project, with OhmConnect, will
4 improve their platform to expand customer engagement.
5 The project anticipates enrolling more than 40,000 new
6 customers and achieving more than 25 megawatts of
7 flexible demand capacity by August.

8 The other two projects will improve irrigation
9 pumping controls to support load shifts. The two
10 recipients are Polaris Energy Services and AgMonitor.
11 Cumulatively, these two agricultural projects are
12 anticipated to result in nearly 18 megawatts of demand
13 reduction during peak hours. And we expect these near
14 term improvements will expand in future years.

15 So, that's a look at the CEC's contributions to
16 system reliability and we're eager to work with our
17 partners. Thank you very much.

18 Let me now turn it over to Ed Randolph.

19 MR. RANDOLPH: Good. Thank you, Drew and Ernie,
20 I didn't meant to cut you -- I'll just go ahead and jump
21 in, if we can bring up my slide deck.

22 And once again, I'm Ed Randolph, Deputy
23 Executive Director for Energy and Climate Policy at the
24 California Public Utilities Commission.

25 And the next slide, please. So, today I'm going

1 to talk through the actions that the CPUC has taken
2 since last summer to help improve reliability going
3 forward, and then also talk about a few actions that
4 were already underway even before last summer.

5 And as a starting point, I do want to echo the
6 thanks and the gratitude that have been expressed from
7 the dais earlier this morning for the staff at all three
8 of the energy agencies, who have been working on these
9 issues since last summer. Since the August heat wave,
10 it has been a mad and sometimes seemingly endless
11 scramble to respond to those events to make sure that
12 there was enough energy during those heat waves after
13 the initial two days with rotating outages, to develop
14 the root cause analysis, and then to respond to the
15 recommendations of the root cause analysis. So, a lot
16 of thanks and gratitude is due to all the staff in all
17 the agencies who've worked with that.

18 And also, a thank you to Heather for once again
19 setting up and excellent workshop today.

20 So, if we could move to the first slide, or the
21 next slide. You know, almost immediately after the two
22 heat storms from last summer, you know, the PUC began
23 working on actions that needed to be taken to help
24 prevent a repeat of those actions. You know, even
25 before the root cause analysis was done, you know and

1 obviously conclusion is that, you know, first and
2 foremost we need more resources to be available during
3 those peak hours in August and September, and especially
4 during the late afternoon, early evening hours when
5 solar starts to decline and is no longer available.

6 That showed itself in a November 19, 2020
7 opening of a rulemaking to look at expedited procurement
8 for resources that can be online. Not just in 2021, but
9 resources also available in 2022. That proceeding has
10 resulted in two different decisions and directives from
11 the Commission. One was issued in February, aimed at
12 the three large investor-owned utilities, Pacific Gas &
13 Electric, Southern California Edison, and San Diego Gas
14 & Electric, directing them to contract for incremental
15 capacity that can be available in 2021 and in 2022.

16 Through that directive, the PUC has already
17 approved 564 megawatts worth of incremental contracts
18 for new resources. That's coming -- of for resources.
19 That's coming from a combination of natural gas plants,
20 biomass plants, and burn imports.

21 Then, in March of this year the PUC approved an
22 additional decision that was taking further action
23 largely looking at the demand side of the equation, a
24 number of programs there. I'll walk through each one of
25 these programs.

1 So, in the interest of time, let's just move to
2 the next slide and we'll talk about each one
3 individually. The first of the programs that was
4 implemented in this decision is called the Emergency
5 Load Reduction Program, or ELRP. This is a new pilot, I
6 think a somewhat innovative pilot that's responding to a
7 lot of feedback we got during and after the heat waves
8 last summer, which a number of different entities out
9 there said they could provide more demand response, more
10 load reduction, or more energy if only there were a
11 clearer mechanism for them to actually get reimbursed
12 for that. And so, the ELRP, the Emergency Load
13 Reduction Program is a pilot that tried to do that.

14 It also is a pilot to work around or try to
15 resolve some of the challenges that a lot of these
16 potential providers of additional energy or load
17 shifting have had trying to work through the PUC
18 resource adequacy rules, and the CAISO's energy market
19 mechanisms. And some of these products, when trying to
20 work through those things they really feel like a square
21 peg trying to fit themselves in a round hole.

22 So, this is outside of those rules as a pilot to
23 see what we can really get from these type of resources.
24 The eligible customers to this would be
25 commercial/industrial, sometimes referred to as

1 nonresidential customers, out there. A lot of these
2 customers already participate in programs like the Base
3 Interruptible Program, which is an emergency demand
4 response program, but would allow them to provide
5 additional savings beyond their commitments there.

6 It also will allow customers with behind-the-
7 meter resources that can generate and export energy to
8 the grid to participate, virtual power plants to
9 participate, and for DR providers, third-party DR
10 providers to participate in the program as well, beyond
11 their existing DR commitments.

12 And the way the program works in kind of a basic
13 sense is if there's an event trigger, which would be the
14 CAISO issuing an alert, these customers would then, if
15 they can, produce load savings in response to that,
16 would get paid a dollar a kilowatt hour, or \$1,000 a
17 megawatt hour for the voluntary load that they're able
18 to reduce during that emergency load shed event. And
19 then, there would be no penalties for nonperformance
20 there.

21 This program we estimate and this is, you know,
22 a very -- you know, a very rough estimate is 500 to 720
23 megawatts of load reduction during a CAISO alert if this
24 is triggered.

25 The next slide, please. The decision also made

1 several changes to existing demand response programs to
2 try to improve the participation and the effectiveness
3 of those programs. You know, specifically there were
4 changes to enrollment protocols in what's called the
5 Base Interruptible Program, which would allow more
6 customers to enroll under more flexibility in enrollment
7 in that program, the temporary raises caps, and the
8 reliability programs, and increases incentives to
9 attract new customers in some of the programs.

10 And again, from this change in programs we're
11 hoping to get 167 to 367 megawatts, that's an awfully
12 specific estimate, of savings from these programs.

13 The next slide, please. Additionally, we've
14 made some changes in what's called the Critical
15 PeakPricing Program. This is a program that many
16 commercial customers for the investor-owned utilities
17 are enrolled in. And the way it works is when events
18 are called during high demand times, the customers'
19 electric rates during those times will increase
20 significantly to send a price incentive for those
21 customers to reduce load during those times.

22 You know, looking at past results from the
23 programs we've made several changes to improve the
24 effectiveness. One is to change the event window for
25 these programs to more accurately reflect when our hours

1 of peak need are. It should be noted that these changes
2 in the peak windows for some of the utilities are not
3 going to happen this year due to complexities in
4 enrolling customers and changing in their billing
5 systems, but will be in place by 2022.

6 We've increased the maximum number of events
7 that they can be called per year for Edison. It's
8 upgraded per station there. And providing more customer
9 education out there.

10 And then, something else that we have done is
11 started working with the community choice aggregators to
12 either develop their own community or critical
13 peakpricing programs or other similar demand response
14 type programs. This is in response to the realization
15 that as more and more customers move over to community
16 choice aggregation service, instead of getting their
17 energy service from the IOUs, we also need to focus on
18 tariff programs and other programs on the CCA side that
19 would lead to load shifting during critical times.

20 The next slide, please. We've also, in that
21 decision, refunded the Flex Alert campaign. I think as
22 most people know, Flex Alert is a campaign that's
23 existed since the 2001 energy crisis. That when a flex
24 alert is triggered, a broad messaging goes out for
25 people to voluntarily conserve electricity.

1 Last summer that program wasn't funded, it did
2 not have a paid media campaign behind it. It just --
3 well, it wasn't just, I think it's still a very
4 effective program even that way, but was based on earned
5 media or, you know, outreach to media outlets across the
6 state, and other public outreach to seek voluntary
7 efforts. We're reinstating using a paid campaign to
8 have more public outreach out there. And are working
9 with our vendor, who's working on it at this time, to
10 try some new and innovative ways on public outreach
11 around these programs as well.

12 The next slide, please. Additionally, the
13 decision increased what's called the planning reserve
14 margin for the investor-owned utilities. This is, you
15 know, really taking into account the fact that the
16 current planning process didn't fully take into account
17 the most extreme heat events we're likely to do. By
18 increasing this planning reserve margin that increases
19 the number of megawatts each of the large IOUs needs to
20 have, you know, under contract, the amount of capacity
21 each of the IOUs needs to have under contract this
22 summer to serve load.

23 The next slide, please. And then, beyond the
24 decision, the two decisions I just talked about, you
25 know the Commission is in an effort to track the

1 progress towards meeting these -- the new build out that
2 is needed to meet the needs of this summer, of next
3 summer, and quite frankly beyond that. You know, and as
4 this chart at the bottom shows here, when we look at the
5 next coming years, for 2021, you know, beyond the
6 interim, or the emergency decisions that we just showed
7 you, we are expecting resources with over 2,300
8 megawatts of what's called net qualifying capacity to be
9 online this summer.

10 You know, something that is worth noting here is
11 oftentimes when the energy agencies talk about new
12 resources that are needed or coming online we switch
13 back and forth between two measurements, without
14 explaining that we're doing that. One measurement is
15 the net qualifying capacity, which is actually that
16 resource's ability to meet those peak demands on summer
17 days. And when we're talking about reliability that's
18 the most important number.

19 But then, the nameplate capacity is another
20 number which is -- would be the maximum output of a
21 particular resource if it were able to produce it's
22 engineering maximum at a particular time. And that's
23 oftentimes referred to as the nameplate capacity.

24 So, sometimes we talk about nameplate capacity,
25 sometimes we talk about NQC, and we don't explain that

1 we're switching.

2 But as this table shows, looking at next summer
3 we've got 2,300 megawatts, a little bit more than that
4 of net qualifying capacity. But because a large
5 percentage of that is going to be new solar coming
6 online, which has a very low net qualifying capacity
7 because of its inability to meet that peak late in the
8 day, the actual nameplate capacity, it's ability to
9 generate energy is much higher.

10 And then, as we look going forward through 2024,
11 we have almost 4,000 megawatts of net qualifying
12 capacity coming online. It's a little over 8,000
13 megawatts of new resources coming online.

14 The next slide, please. Yeah. And as I talked
15 about a little bit there, we are closely tracking the
16 development milestones of -- you know, of these
17 resources. And there's two different tracks that are
18 going on there.

19 One is all load-serving entities are required to
20 submit aggregate -- or submit to us their progress
21 towards meeting prior procurement directives, which have
22 been submitted, and we will release an aggregate of
23 progress towards that shortly.

24 And then, you know, we are also, as we look at
25 this summer and next summer, looking at very specific

1 projects having regular communications with the load-
2 serving entities to make sure their projects are all on
3 track or not hitting environmental regulatory barriers.
4 Or, I think, you know, more important in this day and
5 age with a lot of supply chain challenges, they're not
6 having supply chain problems or interconnection
7 problems.

8 The next slide. And then looking a little
9 further down the line, there's already a lot of
10 conversation about what happens when the Diablo Canyon
11 Nuclear Power Plant comes offline. And just to set that
12 up here, there is a ruling, a judge's ruling that was
13 released a few months ago, that we've now received
14 comments on that proposed 7,500 megawatts of net
15 qualifying capacity to replace that. And again, that's
16 net qualifying capacity. Nameplate capacity for that
17 could be, depending upon the resource, anywhere from
18 10,000 megawatts to 15,000 megawatts depending upon, you
19 know, how ultimately that is met.

20 And we will expect a decision, a proposed
21 decision following up on that order on actual directives
22 here sometime in the coming months.

23 The next slide. I think that's the last slide.
24 Yeah, and I'm at my time. I'll just go through this
25 real quickly. We are also working with the IOUs and the

1 CCAs for better data sharing, so all the entities can
2 better improve their load scheduling accuracy. We are
3 looking at long term rule changes in our resource
4 adequacy proceeding.

5 I think most importantly on that we had
6 workshops in February to look at what the planning
7 reserve margins in the resource adequacy program should
8 be. And we are developing new integrated resource
9 procurement framework to ensure that all load-serving
10 entities are meeting their reliability needs going
11 forward.

12 The next slide. And that's it. Questions.
13 Thank you.

14 MR. ERNE: Thank you, Ed. Appreciate your
15 overview.

16 I'll turn it over to Anna McKenna from Cal ISO.

17 MS. MCKENNA: Thank you, David. And good
18 morning Chair Hochschild, Commissioners, President
19 Batjer, President Mainzer, fellow panelists and, of
20 course participants. Thank you for bringing us together
21 today to facilitate this very important discussion.

22 It's my pleasure to be here, to share with you
23 some of the activities we've undertaken at the
24 California ISO to prepare our markets and procedures for
25 this summer's events.

1 Specifically, I'm going to walk through some of
2 the market rule changes that we recently completed and
3 have now filed with the Federal Energy Regulatory
4 Commission for their approval.

5 As well as our efforts in better measuring
6 demand response performance which will, as you have
7 heard, will continue to be a very important reliability
8 resource for us this summer.

9 And before I proceed, I also wanted to express
10 my appreciation for the collaborative efforts among our
11 organizations, and with the PUC. I have to say that our
12 collaboration has been a pleasure to work with all the
13 agencies and learn more about each others' procedures,
14 and efforts. But also, as we all know, is a key to our
15 collective success this summer in dealing with any heat
16 events.

17 With that, I will turn to the next slide,
18 please. So, what I'd like to touch on this morning are
19 the key market rule changes that we undertook. After
20 the root cause analysis last summer we identified
21 certain areas of potential improvement in our market.
22 We also had identified additional areas that looking at
23 how to best manager the resources for the summer through
24 our own efforts.

25 We immediately launched an emergency stakeholder

1 initiative on an expedited basis to address market rule
2 changes that could be implemented specifically for this
3 summer. Our goal was to identify those changes that we
4 could implement for this summer, our stakeholders and
5 our market participants could implement for this summer.
6 And also, were very targeted to addressing the issues we
7 identified in the root cause analysis or any other
8 issues that were specific for reliability this summer.

9 So, several areas of changes. The first area
10 was around pricing and supply incentives. We made some
11 changes to our market rules as they pertain to imports,
12 hourly imports at our interties. We know that we are
13 dependent on the imports and a bulk of the imports
14 continue to come to us on an hourly basis. We allow for
15 hourly, as well as 15-minute imports. But the western
16 neighbors continue to have mostly hourly supply of
17 imports.

18 So, what we did is we changed a rule for during
19 very tight -- when we are in very tight conditions to
20 allow and ensure that hourly imports can -- are
21 guaranteed recovery of their bids submitted. This is
22 only for the narrow hours of the day when we are in
23 tight supply conditions. We did not change this rule
24 across the board. We continue to think the better
25 incentive is to incentivize 15-minute imports, which are

1 more flexible and easier for us to integrate into our
2 operations. But this does send a better signal.

3 We also made some changes to our pricing for
4 stronger price signals during emergency conditions. We
5 had discussed a series of potential changes to pricing
6 as we label (indiscernible) pricing. We didn't go as
7 deep because of implementation challenges, but also the
8 need to consider those rule changes more carefully. But
9 what we did do is targeted some very specific pricing
10 enhancements that allow us to ensure that our real-time
11 prices reflect the use of our operating reserves during
12 tight conditions.

13 We also, and then also in an effort to better
14 reflect scarcity pricing and the shortages on the system
15 during these tight conditions, we made some
16 modifications to how we manage emergency demand response
17 in our market processes so that they -- the use of such
18 resources can be better reflected in our pricing and
19 dispatch. And also, ensure that the load forecast takes
20 into consideration during those intervals that these
21 demand response resources have been triggered, which
22 allows us to have also a better market solution overall.

23 In the area of battery state of charge, this is
24 an area that we identified through our resource adequacy
25 enhancements efforts that we have been engaged in for

1 some time, but became more important and more urgent as
2 we looked to this summer's integration of approximately
3 2,000 megawatts of new storage on -- storage resources
4 in our system.

5 As we know, it will be key and important for us
6 to be able to address those, that peak conditions when
7 the solar has left and demand is still relatively high.
8 And that was particularly acute during the heat events
9 that extend over several days when the heat targets are
10 still relatively high during those critical net peak
11 periods.

12 We know that we'll be relying a great deal on
13 the storage resources coming on to meet those
14 requirements. What we had been working on through our
15 resource adequacy enhancements is what we label a
16 minimum state of charge that ensures the storage
17 resources are charged during those net peak periods.
18 This is a limited procedure that we'll be -- that we've
19 developed and is a temporary procedure for the next two
20 years, and allows us to ensure that those storage
21 resources that are under resource adequacy contracts
22 that they are available and charge during those peak
23 periods.

24 We recognize the importance, however, of
25 providing maximum market flexibility on the storage

1 resources to ensure they can participate efficiently.
2 And because of that, we've proposed this effort to be
3 only in effect for two years while we proceed with a new
4 initiative to actually better model and manage the
5 storage resources throughout the day for subsequent
6 years.

7 But for this summer we have proposed this
8 interim measure that will allow us to ensure that the
9 storage resources are charged to meet the net peak
10 energy capacity requirements.

11 In the area of EIM sufficiency, issues arose and
12 questions arose around the ISO's ability to pass the
13 sufficiency tests. What these are, are tests that we
14 run in our energy and balance market which is
15 essentially a component of our real-time market that
16 extends into other partners of the west, and allows us
17 for exchange of transfers of energy throughout the day.

18 And, of course, during those critical hours it's
19 important to have a good measurement of how ready and
20 sufficient we are to enter into the energy imbalance
21 market, which is a requirement that's imposed on all
22 participants, including the ISO.

23 There were questions that arose as to whether
24 the ISO was sufficiently resourced entering into those
25 hours. And we looked into some short term changes that

1 can be made to better reflect the uncertainty that is
2 expected in subsequent intervals. The hours -- the
3 tests are run for the hour, a given hour, and will going
4 forward be incorporating our sufficiency tests of
5 capacity -- sorry, an uncertainty requirement that
6 requires us to meet through our bidding, through our bid
7 range the additional uncertainty that may arise.

8 We also made some short term changes to the
9 modeling of energy interchanges between the ISO and the
10 energy imbalance market participants. For those, in
11 those cases where energy imbalance, EIM participants
12 also have interchange transactions at the ISO interties.
13 We want to make sure that those are modeling accurately,
14 which improves the energy imbalance market's performance
15 overall for all participants.

16 The next slide, please. Another area that arose
17 out of our efforts on resource adequacy enhancements was
18 the management of outage substitutions for resource
19 adequacy resources. We have a requirement under our
20 tariff that under certain conditions resource adequacy
21 resources must replace, substitute their outages. We
22 also require that they submit that information in
23 advance so that we can evaluate whether the outages are
24 reliable and can be taken, and approved for those
25 planned outages.

1 What we did is we proposed some rule changes
2 that require resource adequacy resources to, when they
3 submit those outage requests, to also substitute up
4 front for the capacity. This will better ensure that
5 the resource adequacy resources are replaced for this
6 summer. We accelerated this effort in our expedited
7 stakeholder proceeding so that we could have it in place
8 for this summer, and ensure that over the summer months
9 we are better prepared for the planned outages
10 replacement.

11 A third area -- sorry, a fifth area of market
12 rule changes in an area where we -- and these issues
13 were -- some of these issues were identified in the root
14 cause analysis, and that is the management of exports
15 and wheeling priorities at our interties.

16 The ISO operates a market that is essentially
17 cleared, that allows for exports and wheel throughs to
18 occur on the system consistent with open axis
19 principles. However, we also were through the root
20 cause analysis and our own investigations recognized
21 that under certain conditions, certain instances it's
22 not always clear that our resource adequacy capacity is
23 not backing, if you wish, the export resources that
24 might occur.

25 Common to all control areas and practices is the

1 allowance for external entities to contract with
2 resources within the balancing authority area. But
3 under our market rules, if a resource has capacity
4 designated for the purposes of serving ISO load, that
5 capacity is not available for export and would only be
6 available if it was not otherwise necessary to serve ISO
7 load.

8 After last summer's events we made some rule
9 changes that allowed us to better ensure that that
10 capacity -- that we can we identify in the day-ahead
11 process that that capacity is not available for export
12 and, therefore, would not back an export. And we
13 changed some of our priorities to ensure that occurred.
14 That didn't require tariff changes, we were able to do
15 so through procedural changes.

16 But we also, then, identified some potential
17 other rule changes that strengthen our ability to
18 identify that any exports that occur during constrained
19 conditions are not backed by California resource
20 adequacy and are, instead, backed by resources that have
21 been designated to serve those exports contracted for by
22 the external parties. And through open access
23 principles we apply our rules to ensure that we can
24 recall the exports that were not otherwise backed by
25 contracted for resources.

1 Those rule changes will better -- will help us
2 better manage and ensure that during constrained
3 conditions that exports are not backed by our resources.

4 As we were looking into these issues, we also
5 identified that under certain circumstances what we call
6 wheel through transactions, which are basically
7 import/export transactions that are combined, and occur
8 through our system. Again consistent with open access
9 principles, we allow for wheel throughs through the
10 system.

11 We identified that there's a possibility under
12 certain constrained conditions that these wheel throughs
13 could crowd out, at certain times, import capacity that
14 is otherwise designated for purposes of importing
15 resource adequacy resources from external entities into
16 the ISO.

17 And what we -- although we didn't see any of
18 this activity going on last summer, there were no wheel
19 throughs actually crowding out any of the RA imports, we
20 know and understand that the constraints over the west
21 wide system, as well as in particular the southwest have
22 changed patterns in such a way that may increase the
23 flow of these wheel throughs.

24 Therefore, we proposed a procedure and some
25 changes to our market rules that allows us to minimize

1 the amount of wheel throughs that would be treated to --
2 that would basically be permitted to go through during
3 constrained conditions to only a smaller group of
4 resources that we would otherwise have to allow for
5 under today's rules. Under today's rules we have no
6 restrictions. All wheel throughs are treated, you know,
7 and under our tariff are -- have no distinction as to
8 how they're treated today. So what we did is we adopted
9 procedures to allow us to narrow that scope.

10 All of these rules have been since -- all the
11 market rule changes I just went through have since been
12 filed at the Federal Energy Regulatory Commission.
13 They're under their consideration. We have asked for
14 different implementation dates that span from June
15 through the middle of July in order to be ready for the
16 peak hours, the peak periods of most constraints this
17 summer.

18 With that, I will move on to the DR efforts. I
19 see I only have a few minutes left. So, let me move on
20 and share with you some of the significant efforts that
21 we've undertaken at the ISO to ensure that we can better
22 value the demand response performance.

23 After the RCA was issued last summer, we
24 received a lot of concerns by DR providers across the
25 board that there was significant under valuation of

1 demand response reductions during the August 14th
2 through 19th of heat events. And these concerns were
3 largely and are largely around the baseline
4 methodologies that we use, as well as the adjustment
5 caps used within the baseline methodologies.

6 The baseline methodologies allow us to have a
7 point from which we measure, once a demand response
8 resource is actually participating in our markets and
9 participating in operations, what their performance is.

10 We took on two tracks to better measure demand
11 response --

12 (Lost Internet Connection)

13 MS. MCKENNA: -- we have started already doing
14 so. We have had significant success already in
15 soliciting the participation of about 12 participants.
16 Some of which are already committed to the program.
17 Some of which that are contributing their data to the
18 program, which will helps us also create better
19 measurements.

20 The other track that we engaged in, and these
21 tracks are contemporaneous and not intended to -- you
22 know, they're not serial, and parties can participate in
23 both. The other track was to allow for and solicit from
24 demand response providers requests for changes to their
25 adjustment factors on the cap ratio that's used under

1 the current baseline methodologies. This allows us to
2 adjust the cap ratio for the summer months. It does
3 require us to evaluate the data submitted by the DR, the
4 demand response providers. However, it could come into
5 play as early as May. In fact, we have one participant
6 that is already prepping for May to have the adjustment
7 factor already underway for this month through October.

8 Participants can still come for the months of
9 June, July, August and we will consider those requests
10 so that they can adjust. What this allows demand
11 response providers to do is it ensures that under -- if,
12 under the current baseline methodology the forecasts
13 considered, or their responsiveness considered does not
14 reflect actual conditions in weather or demand
15 requirements, it will allow us to remove the cap, which
16 then allows us to increase the baseline expectation of
17 their performance and better measure where they actually
18 back off from, which will also be an improvement in
19 measurement.

20 With that, I see my time is off, so I will stop
21 there for questions.

22 MR. ERNE: Thank you, Anna. And actually thank
23 you to Drew and Ed as well, appreciate all the input
24 from all the panelists. Very informative, shows the
25 substantial number of activities that all of the energy

1 institutions are taking for the summer.

2 And if I can repeat Ed from earlier today,
3 really put the state in a much better position this year
4 than we were last year.

5 So, thanks for all of those presentations. What
6 we'll do is we'll move to Commissioner Gunda, who will
7 coordinate questions from the dais.

8 And just as a reminder for anyone who's
9 speaking, if you can identify yourself before you speak
10 for those people who are on the phone and not able to
11 see the WebEx -- or see the Zoom.

12 Commissioner Gunda.

13 CEC COMMISSIONER GUNDA: Thank you, David.

14 I'll just open it up to the dais, any questions
15 from the dais for the presenters today?

16 CEC COMMISSIONER MCALLISTER: Commissioner
17 Gunda, I just wanted to make a quick comment.

18 CEC COMMISSIONER GUNDA: Absolutely, please.

19 CEC COMMISSIONER MCALLISTER: Yeah, I just want
20 to -- I mean their presentations really complement each
21 other nicely and I think really demonstrate how much
22 critical thinking, but also coordination and
23 complementary thinking is happening across the agencies.
24 And really excited to -- in particular, I think I know a
25 little bit more about, obviously, what the Energy

1 Commission, so appreciated Drew's comments.

2 But really happy to see what's going on at the
3 other two agencies. And in particular, Anna, your
4 presentation on the scarcity pricing stuff, and looking,
5 really taking a critical eye at the import/expert
6 issues, I think those are really critical. And just the
7 level of care and intentionality and kind of openness
8 that everybody is approaching this issue is really
9 terrific, and I think bodes well for really finding
10 solutions.

11 I also wanted to thank the DR providers for
12 their kind of volunteerism in helping dig into these
13 issues.

14 And then, finally, I wanted to just, as you did
15 Commissioner Gunda, call out President Mainzer there for
16 really bringing sort of an openness that is helping to
17 stimulate, really in a very vital way, this
18 conversation. So, really excited to keep the
19 conversation moving forward.

20 CAISO PRESIDENT AND CEO MAINZER: Thank you,
21 Commissioner, appreciate it.

22 CEC COMMISSIONER GUNDA: Thank you, Commissioner
23 McAllister.

24 Any other questions, comments from the dais?

25 If not, I'm going to hand it to I believe Mark

1 Kootstra to help with the Q&A.

2 MR. KOOTSTRA: Absolutely. So, the first
3 question I have for Mr. Randolph: In the modeling, how
4 are you considering or de-rating natural gas generation
5 for high heat days, when those assets may not be able to
6 obtain their nameplate capacity?

7 MR. RANDOLPH: Yeah, thanks for the question,
8 Mark and from Mike. Yeah, you know, there's different
9 modeling and various modeling does take into account the
10 derates for high heat rates. You know, both in our IRP
11 modeling and, more importantly in the RA modeling. And
12 then, as we look at refining the RA modeling and maybe
13 moving to different mechanisms they do account for that.
14 And some of the different mechanisms we may move forward
15 to would account for that derate on those high heat days
16 already.

17 MR. KOOTSTRA: Great. And the second question I
18 have is also, maybe, directed at you.

19 You mentioned that Flex Alerts were not funded
20 this year. Was this the first year they weren't funded
21 since the program began?

22 MR. RANDOLPH: No. And that's a good question.
23 It's been an off and on issue with Flex Alerts for a
24 long time. And the basis of that is they were
25 originally funded using ratepayer money back during the

1 energy crisis. As the PUC, in various proceedings,
2 looked to refund Flex Alert there wasn't good evidence,
3 you know, kind of one way or the other of the
4 effectiveness of Flex Alert out there.

5 And I think most importantly out there, there
6 wasn't a good distinction over how much to pay versus
7 the free campaigns worked.

8 So, over time, in those years where we had, you
9 know, events that caused us to be particularly concerned
10 about reliability it's been funded as more of an
11 insurance policy. After San Onofre Nuclear Generation
12 Plant went down unexpectedly, we continued funding the
13 paid campaign then. Then, actually after that stopped
14 funding the paid side and handed all media control of
15 the campaign over to the ISO.

16 Then, after Aliso Canyon went offline and then
17 had reduced capacity, SoCalGas funded a Flex Alert paid
18 campaign in Southern California due to electric
19 reliability campaigns there. So, it's been off and on
20 over the years.

21 MR. KOOTSTRA: Thank you. The next question I
22 have is: How does the expected proposed decision on
23 midterm procurement in the second quarter comport with
24 the July workshop mentioned earlier this morning?

25 I think is going to partially go to Commissioner

1 Gunda, but may also come up with the CPUC for some
2 comment on that as well.

3 CEC COMMISSIONER GUNDA: Yeah. Thank you, Mark,
4 I just looked at it. Yeah, I think our hope is to
5 complete the '21-'26 analysis by the end of May and
6 hopefully by June we'll have some internal discussions.
7 And that's the timeline we were planning around July to
8 hold the workshop.

9 But as the analysis becomes available
10 internally, we will definitely make it available for
11 CPUC leadership (indiscernible) -- we'll coordinate on
12 those developments.

13 MR. KOOTSTRA: Thank you.

14 CEC COMMISSIONER GUNDA: I don't know, Ed, if
15 you want anything to it?

16 MR. RANDOLPH: No, I don't have anything to add
17 to that.

18 MR. KOOTSTRA: Thank you. The next couple of
19 questions --

20 MR. RANDOLPH: Hey, Mark?

21 MR. KOOTSTRA: Yes.

22 MR. RANDOLPH: On these next two, one got
23 promoted over the other, but they're interrelated.

24 MR. KOOTSTRA: Yeah.

25 MR. RANDOLPH: So, I suggest we start with the

1 second one first.

2 MR. KOOTSTRA: Yeah, that's exactly what I was
3 going to do. I was actually going to point to you, Ed.
4 Sort of breaking it down a little bit into --

5 MR. RANDOLPH: And then, Mark, why don't I -- if
6 you don't mind, I'll just take it and paraphrase it down
7 --

8 MR. KOOTSTRA: Go for it.

9 MR. RANDOLPH: -- because it's a pretty long
10 question. And to be blunt, I think there's some
11 statements in here that are making assumptions that are
12 not in evidence here.

13 But the summary of the question is, you know,
14 when will the PUC direct or what is the PUC doing to
15 provide real-time smart meter access for the CCAs, so
16 that they can better develop load management programs?

17 And as I mentioned, we are already working, we
18 have staff working with the IOUs to work through kind of
19 a number of issues and, you know, providing the data. I
20 think it's anybody that's worked on these data access
21 issues over the years know there's a number of
22 challenges. There's California privacy rules. There's
23 actually, you know, it's some technical issues out there
24 as well in providing the data in real-time.

25 We do think it's very important that the CCAs

1 and a number of, you know, other folks who want to
2 provide load shifting or other load management tools to
3 customers have better access to the customers' data so
4 that -- you know, it's not perfect where we are now and
5 it's a continuing focus to improve that data access.

6 CEC COMMISSIONER GUNDA: Mark?

7 MR. KOOTSTRA: Yes.

8 CEC COMMISSIONER GUNDA: I would like to see if
9 Commissioner McAllister want to add anything on the load
10 management side, specifically.

11 CEC COMMISSIONER MCALLISTER: Yeah, thanks
12 Commissioner Gunda.

13 You know, I wanted to step in and just make a
14 couple of points. So, wanted to first of all just point
15 out that the Load Management Standards Staff Report is
16 already out on the street in draft form, so people can
17 have a look at that.

18 And essentially, what Load Management Standards
19 is, is a platform for putting rate information and
20 potentially other signals, like congestion, like carbon
21 content, those sorts of things on a web-based machine
22 readable platform that can really facilitate the kinds
23 of transactions we're talking about.

24 And so, you know, without sort of talking too
25 much about all the -- you know, leading out the answer

1 to the data access issue kind of where he ended, I think
2 any -- you know, obviously the customer behavior is
3 going to be remediated by whatever rate they're on and
4 whatever service provider, whether it's the utility or a
5 third party providing them with in terms of services
6 that can take advantage of that Load Management Standard
7 platform.

8 But really what it is, is an assistance to the
9 marketplace to function much more cheaply and
10 systemically to enable load flexibility. So that's, I
11 think, the power of Load Management Standards that
12 you're going to see I think play in a number of
13 different arenas that we're talking about today to just
14 optimize how load flexibility works.

15 MR. KOOTSTRA: Great. Thank you very much.

16 The next question I have I believe is for you,
17 Anna McKenna, based off the timing for it.

18 Do you consider aggregated distributed sources,
19 such as residential, as a source for emergency power
20 supply or spinning reserves?

21 MS. MCKENNA: So, under our program if the
22 distributed energy resource is registered as a DR being
23 part of our distributed energy fleet, and participates
24 in our market, then they can -- you know, we can
25 exceptionally dispatch those resources and they also can

1 provide spinning reserves under our rules.

2 However, if they're not under the DR program,
3 then they are behind-the-meter for us. We don't have
4 the kind of dispatchability, if you wish, with those
5 resources. Those would require additional measures.

6 But we have, under certain circumstances, had to
7 dispatch, exceptionally dispatch demand response from
8 our scheduling coordinators who we do business with. We
9 don't do business specifically with the resource behind
10 the meter unless they're registered on our program. But
11 they can, if registered, provide those kind of services.

12 MR. KOOTSTRA: Thank you.

13 The next couple of questions, Mr. Randolph we're
14 probably going to head towards you a little bit. They
15 have to do with the ELRP.

16 One question, being the first: Is there a cap
17 or an annual cap on the payment?

18 And the second question jumps into how -- how to
19 design for an out-of-market program? And at least for
20 the BPPs, as expressed without a pass through payment
21 they're not going to be able to participate economically
22 and with distributed resources.

23 MR. RANDOLPH: Yeah, thanks for putting those
24 kind of as a collective question. It's a little easier
25 to address it.

1 You know, on the very specific question on is
2 there a cap on the ELRP program, I have to admit I don't
3 know for certain, but I think the answer is no. And I
4 think what they're asking is if one provider is able to
5 greatly reduce. I think the answer is no. You know, of
6 course the cap would be on any one customer. You can't
7 reduce your load below a certain level.

8 There is an overall budget, though, and so it
9 would have to be kind of allocated through the budget
10 there, out there.

11 Kind of to the broader thing, to the, you know,
12 question that Rachel McMahon with Sunrun is asking, you
13 know, I'd suggest that we're jumping back and forth
14 between, you know, longer term solutions, longer term
15 innovations and a conversation on what we can do for
16 2020 and 2021. And it's important to consider those
17 things out there.

18 When you look at virtual power plants, you know,
19 other innovative approaches that are out there on
20 behind-the-meter either load reduction or, you know,
21 some of what some of the storage companies want to do is
22 be able to net export. You know, looking at those sorts
23 of things. You know, if trying to fit those into the
24 capacity market, and do that because it creates a value
25 stream for it, that's a challenge to do in a couple

1 months or in a short term where we know it would create
2 more reliability for 2021, you know, and 2022 due to the
3 fact that the capacity market really isn't designed for
4 that type of product, and it's a lot more thinking.

5 If you're looking much longer term at some of
6 these products they're offering, I think there's a lot
7 of great different ways to look at it.

8 I'll note that both Clean -- or East Bay Clean
9 Energy and MCE are looking at two very different
10 approaches for something similar to this that's outside
11 of the capacity market, that creates different value
12 streams for it.

13 I'll also note that they're being somewhat
14 conservative in the number of megawatts they're
15 initially chasing because these are still at the level
16 of pilot projects, and learning what we can actually get
17 for them, and learning what the reliability is. So, in
18 the long term I think there's great potential there.

19 For this summer, you know, we have to chase the
20 megawatts we can get first and foremost.

21 MR. KOOTSTRA: Great, thank you.

22 And the last question I have is: In one of the
23 earlier presentations it was stated that performance of
24 the system can be improved by retaining gas-fired
25 generation. What percentage of overall capacity does

1 this account for?

2 And I'm not sure if anybody on the current panel
3 can answer that or take a ballpark.

4 CEC COMMISSIONER GUNDA: I believe the statement
5 came from Bob. Bob was kind of mentioning in the
6 analysis that CAISO provided. I'm not sure he's still
7 online. If not, that's something we could try and make
8 a statement in the afternoon, when we reconvene.

9 MR. KOOTSTRA: Okay. Those are all the
10 questions I have at this time. Thank you.

11 CEC COMMISSIONER GUNDA: Thank you, Mark.

12 I think I just want to make one comment before
13 we hand it off to Heather. I really appreciated Anna
14 specifically talking about the work that CAISO has been
15 doing on the DR side.

16 So, I just want to recognize one more time how
17 collaborative the work has been, as everybody has seen.
18 There's a lot of different threads of work that's being
19 working on, you know, from a procurement side, planning
20 side, analysis and market operations.

21 And as we coordinated with the DR providers
22 specifically to address some of their concerns, I
23 believe I was just impressed by Anna and her team Jill
24 Powers, to really kind of jump in and take that as a
25 challenge to address the DR baselining issues. So,

1 thank you, Anna, for specifically raising that today.

2 MS. MCKENNA: Thank you, Commissioner Gunda and
3 as well with your team and your leadership in this area.
4 It's been very educational for me and very fruitful for
5 my team to come up with some solutions for this summer.
6 I appreciate it. And I will take that back to my team
7 and appreciate it greatly.

8 CEC COMMISSIONER GUNDA: Thank you.

9 Heather, back to you.

10 MS. RAITT: Great, thank you. And I'll just add
11 on the thanks to all the presenters for your
12 presentations today, and to our moderators, Mark and
13 David, greatly appreciate all that you did today.

14 So, now we will move on to public comment
15 period. And Rosemary Avalos from the Energy
16 Commission's Public Advisor's Office is available to
17 moderate the public comment period.

18 Go ahead, Rosemary. Thank you.

19 MS. AVALOS: Thank you, Heather. Good
20 afternoon.

21 Today, we'll be taking one person for
22 organization who may comment, and comments are limited
23 to three minutes per speaker.

24 Is there are several parties interested in
25 commenting, we'll reduce the time to one and a half

1 minutes per speaker.

2 If you are using the online Zoom platform,
3 please raise your hand on the raise hand feature to let
4 us know you'd like to comment, and we'll call on you to
5 open your line to make comments.

6 And for those on the phone, use dial *9 to raise
7 your hand and *6 to mute when on your phone line.

8 Okay, we'll begin with Farnach Sarbaz
9 (phonetic). And would you please state your name, first
10 and last name, and your affiliation? Your line is open.

11 MS. RAITT: Mr. Sarbaz, you may need to unmute
12 on your end because we can't hear you.

13 MS. AVALOS: Farnach Sarbaz, you will need to
14 unmute on your end, please. Okay, we may be having some
15 technical difficulty.

16 I'll move on now to those that are on the phone.
17 If you wish to make a comment, please dial *9 to raise
18 your hand and *6 to unmute. I'll wait a few seconds
19 here.

20 All right, Heather seeing that there are no
21 raised hands on the phone and Farnach may be having
22 difficulty commenting but -- okay, I see. Go ahead and
23 unmute Farnach.

24 There is another opportunity to submit written
25 comments and you can do so online. And the written

1 comments are due on May 18th. The instructions to
2 submit written comment, you can find those on the
3 Integrated Energy Policy Report from the Energy
4 Commission home page.

5 And I'll hand it back to Commissioner Gunda.

6 CEC COMMISSIONER GUNDA: I think we have --
7 Rosemary, I think we actually have Samuel Golding, I
8 believe has raised their hand on the phone. Would you
9 be able to just check before we --

10 MS. AVALOS: I am looking and I don't see any
11 raised hands.

12 CEC COMMISSIONER GUNDA: Okay. So, yeah, thank
13 you, Rosemary. You know, everyone will have an
14 opportunity again to comment after the afternoon
15 session.

16 So, thank you again so much for this morning's
17 session, Heather.

18 And I just want to quickly open it up to the
19 dais if there's anything anybody wants to say, comment,
20 and then I'll hand it back to Heather.

21 CAISO PRESIDENT AND CEO MAINZER: I'd just like
22 to compliment all the staff for all their hard work.
23 And just really appreciate this session this morning,
24 very informative, very helpful. Thank you all very
25 much.

1 CEC COMMISSIONER GUNDA: Thank you President
2 Mainzer.

3 President Batjer, please go ahead.

4 CPUC PRESIDENT BATJER: Thank you, Commissioner
5 Gunda. These presentations I think so well illustrate
6 how, frankly, very, very hard our staffs have been
7 working since office. It's quite a body of work. And
8 we've been inventive, thoughtful, and investigative to
9 really come up with some good policy changes and ways to
10 make sure that, frankly, the power stays on this summer,
11 and the next, and the next.

12 So, thank you all. It really -- as I said, it's
13 a huge body of work and a lot of hours are represented,
14 and a lot of big brain power. So, thank you so much to
15 the staff at Cal ISO, and at the CEC and, of course, the
16 CPUC. So, thank you. And for your leadership
17 Commissioners and Chair, and for your leadership as
18 well, President and CEC Mainzer.

19 CEC COMMISSIONER GUNDA: Thank you, President
20 Batjer. I would like to really reiterate, I think, you
21 know, after last summer it really required the
22 leadership to come together and can help develop that
23 collaborative spirit, and kind of challenge each other
24 to ensure that we're digging into things that might not
25 necessarily be comfortable. And I really appreciate

1 President Batjer, your and President Mainzer, and Chair
2 Hochschild for your approach towards collaborating and
3 problem solving for this summer. So, thank you all very
4 much.

5 And really recognize the hundred plus staff that
6 are continuously working behind the scenes to make these
7 things happen. So, thanks to the team.

8 With that, Heather, back to you.

9 MS. RAITT: Great, thank you. So, just briefly,
10 this is Heather Raitt, I wanted to let everyone know
11 that the presentations from this morning are now
12 available on the Energy Commission's website. Just look
13 under the 2021 IEPR page, and for this workshop. And
14 the afternoon presentation is there as well.

15 And so with that, I do hope everyone will come
16 back at 2:00 for our afternoon part of the Workshop on
17 Summer Reliability Partners. And please note that there
18 is a new link for that one. So, hopefully, just we'll
19 see everybody at 2:00. And that's all I have, thank
20 you.

21 CEC COMMISSIONER GUNDA: Thank you, Heather.

22 (Thereupon, the Workshop was adjourned at
23 12:19 p.m.)

24

25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 17th day of August, 2021.



MARTHA L. NELSON,
CERT**367

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 17th day of August, 2021.



Barbara Little
Certified Transcriber
AAERT No. CET**D-520