

DOCKETED

Docket Number:	21-IEPR-06
Project Title:	Building Decarbonization and Energy Efficiency
TN #:	239359
Document Title:	Transcript - May 25, 2021 - Session 2 - IEPR Commissioner Workshop on Building Decarbonization
Description:	Session 2 - IEPR Commissioner Workshop on Building Decarbonization – National, Regional, and California Activities
Filer:	Raquel Kravitz
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	8/18/2021 1:40:20 PM
Docketed Date:	8/18/2021

CALIFORNIA ENERGY COMMISSION

In the matter of:

2021 Integrated Energy)
Policy Report (2021 IEPR)
_____)

Docket No. 21-IEPR-06

IEPR COMMISSIONER WORKSHOP

RE: BUILDING DECARBONIZATION:

NATIONAL, REGIONAL, AND CALIFORNIA ACTIVITIES

REMOTE VIA ZOOM

TUESDAY, MAY 25, 2021

2:00 P.M. Session 2: California Activities

Reported by:

E. Hicks

APPEARANCES

COMMISSIONERS

J. Andrew McAllister, 2021 IEPR Lead Commissioner

Patty Monahan, CEC Commissioner

Siva Gunda, CEC Commissioner

Cliff Rechtschaffen, CPUC Commissioner

CEC STAFF

Heather Raitt, California Energy Commission, IEPR Program
Manager

Kristy Chew, California Energy Commission, Efficiency
Division

MODERATOR

Gabriel Taylor, California Energy Commission, Efficiency
Division

PRESENTERS

Mike Sokol, California Energy Commission, Efficiency
Division

Ingrid Neumann, California Energy Commission, Energy
Assessments Division

Virginia Lew, California Energy Commission, Energy
Research and Development Division

Natalie Lee, California Energy Commission, Renewable
Division

Deana Carrillo, California Energy Commission, Renewable
Division

Kyle Krause, California Department of Housing and
Community Development

Abhilasha Wadhwa, California Public Utilities Commission,
Energy Division

Rory Cox, California Public Utilities Commission, Energy
Division

Amy Rider, Building Decarbonization Coalition

Rachel Huang, Sacramento Municipal Utility District

David Jacot, Los Angeles Department of Water and Power

DAIS SUPPPORT STAFF

Bryan Early
Ken Rider
Roberta Rothschild
Gabriel Taylor
Theju Prasad
Le-Quyen Nguyen
Ellie Long

PAO, MEDIA & IT

Raj Singh, Alternative Host
Giana Villegas, Alternative Host
David Gay
Noemi Gallardo
RoseMary Avalos

IEPR TEAM

Denise Costa
Stephanie Bailey
Heather Raitt

AGENDA

	<u>Page</u>
Introduction	5
Opening Remarks	6
J. Andrew McAllister, 2021 IEPR Lead Commissioner Patty Monahan, Commissioner, CEC Siva Gunda, Commissioner, CEC Cliff Rechtschaffen, Commissioner, California Public Utilities Commission	
Presentation:	
CEC's Building Decarbonization Activities	10
A. Michael Sokol, Efficiency Division B. Ingrid Neumann, Energy Assessments Division C. Virginia Lew, Energy Research and Development Division D. Natalie Lee, Renewable Division	
Panel:	
California's Building Decarbonization Activities	52
Moderator: Gabriel Taylor, California Energy Commission	
A. Kyle Krause, California Department of Housing and Community Development B. Rory Cox and Abhilasha Wadhwa, Energy Division, California Public Utilities Commission C. Amy Rider, Building Decarbonization Coalition D. Rachel Huang, Sacramento Municipal Utility District E. David Jacot, Los Angeles Department of Water & Power	
Public Comments	130
Closing Remarks	142
Adjourn	148

1

P R O C E E D I N G S

1

2:00 P.M.

2

TUESDAY, MAY 25, 2021

3

MS. RAITT: All right. Well, as people
4 are joining us, good afternoon. Welcome to the
5 Session 2 of today's Workshop on Building
6 Decarbonization - National, Regional, and
7 California Activities.

8

I'm Heather Raitt, the Program Manager
9 for the Integrated Energy Policy Report, which we
10 refer to as the IEPR. Today's workshop is being
11 held remotely consistent with Executive Orders N-
12 2520 and N-2920, and the recommendations from the
13 California Department of Public Health to
14 encourage physical distancing to slow the spread
15 of COVID-19.

16

To follow along with today's discussion,
17 the workshop schedule and presentations are
18 available on our website, on the Energy
19 Commission's website. And just be aware that our
20 IEPR workshops are recorded, and both a recording
21 and written transcript will be linked to the
22 Energy Commission's website.

23

Attendees have the opportunity to
24 participate today in a few different ways. You
25 could ask questions or upvote questions submitted

5

1 by others through the Zoom Q&A feature. You can
2 also make comments during the Public Comment
3 period at the end of the afternoon. Please note
4 that we will not be responding to questions
5 during the Public Comment period.

6 Also, written comments are welcome, and
7 the information for doing so is on the meeting
8 notice, and written comments are due on June 8th.

9 With that, I'll turn it over to
10 Commissioner McAllister. Thank you.

11 COMMISSIONER MCALLISTER: Great. Thank
12 you very much, Heather.

13 Thanks everyone for being with us again
14 this afternoon. We probably have some repeat
15 folks, so thanks for sticking it out all day.
16 This is terrific.

17 This morning we had a really excellent
18 group of speakers giving us some broad
19 understanding of what's happening beyond
20 California's borders, in Washington, D.C., where
21 there is a huge number of activities happening,
22 and likely some legislation of one flavor or
23 another will make it through. I think it's
24 likely that we'll have some resources in addition
25 to our state resources. But, you know, fingers

1 crossed on all that.

2 And joining on dais by three fellow
3 Commissioners, two here at the Energy
4 Commissioner -- at the Energy Commission, and one
5 at the CPUC. So thanks for being with us,
6 Commissioners Gunda and Monahan. And on the
7 CPUC, Commissioner Rechtschaffen, I see that
8 you're here.

9 So, in the afternoon -- so that right now
10 we're going to start on the California
11 perspective, and with focusing on the CEC's
12 activities, and then look more broadly across
13 California. So really, really happy that we're
14 able to kind of show the world what we're doing
15 at the Energy Commission, but then also in the
16 second panel, take a broader perspective and look
17 more broadly across, including the activities of
18 the PUC, but also in a range of stakeholders.

19 So really happy to be starting the
20 afternoon. So looking forward to presentations.
21 And without further ado, I think rather than
22 repeat my exultations from the morning, I think
23 I'll just -- we all know how important now really
24 the conversation is, and how much some of the
25 challenges, but also much of the innovation

1 that's happening, both in California and beyond.
2 So I think it's really a good moment to take
3 stock, and take a longer-term vision about where
4 we want to head here in California.

5 So, with that, I'll pass the microphone
6 perhaps to Commissioner Monahan, if you want to
7 make some -- what would be for you opening
8 comments.

9 COMMISSIONER MONAHAN: Yes, happy to.
10 Thanks, Commissioner McAllister.

11 Well, I'm excited for this conversation.
12 This is a learning experience for me, and I do
13 think though on the transportation side for a
14 long time we were, we were just really struggling
15 with solutions. And now we're seeing a whole
16 global momentum flowing toward a solution set for
17 transportation.

18 And I know in the building side it's also
19 happening, perhaps a step behind transportation,
20 but that gives me just a lot of optimism
21 generally that we can develop the solutions, both
22 behaviorally and technologically to get to our
23 goals. So looking forward to learning a lot this
24 afternoon. Thank you.

25 COMMISSIONER MCALLISTER: Thanks.

1 Commissioner Gunda, would you like to
2 make any opening remarks?

3 COMMISSIONER GUNDA: I'm going to use the
4 brief moment of silence in the construction
5 behind me. Yes, Commissioner, it was an
6 excellent morning session. Thank you for hosting
7 this, and look forward to the conversation. And
8 welcome, Commissioner Monahan, to the dais.

9 COMMISSIONER MCALLISTER: Yes.

10 Commissioner Rechtschaffen, would you
11 like to open us up?

12 COMMISSIONER RECHTSCHAFFEN: I would like
13 to thank you for letting me rent a room at the
14 CEC since this is my third CEC panel in
15 electrification and decarbonization in the past
16 three days. But it's a pleasure to be here, and
17 it highlights how close our working relationship
18 is. I'm very grateful for the CEC's leadership
19 and ongoing collaboration in this area. Our work
20 is always informed by the analysis in the IEPR
21 and other CEC evaluations. So I'm happy to be
22 able to attend the workshop.

23 I was able to join part of this morning's
24 workshop. It's fascinating to hear what other
25 leading jurisdictions are doing, and to see how

1 close and -- the challenges they face are to what
2 we're facing. We're all in this together. We're
3 searching for new, innovative solutions, and we
4 have a lot to learn. And I benefitted greatly
5 from hearing the exchange of the ideas. So I
6 look forward to this afternoon's workshop.

7 MS. RAITT: Great. I guess I can --

8 COMMISSIONER MCALLISTER: Sorry. I was
9 muted. Had to happen once.

10 Yes. But thanks, thanks a lot everyone
11 for being with us. And I think we'll move on.

12 Heather, do you want to start the first
13 panel?

14 MS. RAITT: Sure. I'll go ahead. And
15 our first panel is -- I'll go ahead introduce
16 everybody. It's on CEC's Building Decarbonation
17 Activities. And so we have a suite of staff from
18 the Energy Commission to talk about our programs.

19 We have Mike Sokol, who is the Deputy
20 Director of the CEC's Efficiency Division. Ingrid
21 Neumann is an Efficiency Lead Specialist at the
22 Energy Commission's Energy Assessments Division.
23 Virginia Lew is the Manager of the Energy
24 Commission's Energy Efficiency Research Office.
25 Natalie Lee is the Deputy Director of the

1 Renewable Energy Division. And Deana Carrillo is
2 also available. She's the Office Manager of the
3 Renewable Energy Division overseeing the launch
4 of BUILD in -- of the BUILD Program.

5 So with that, go ahead, Mike.

6 MR. SOKOL: All right. Good afternoon.
7 Can you see me and hear me? All right. Looks
8 good.

9 Well, thanks for the introduction, and
10 good afternoon, Commissioners, and everyone in
11 attendance today. I am Mike Sokol with the
12 Efficiency Division at the Energy Commission.
13 And I'm going to provide an overview of some of
14 the activities that the Efficiency Division, and
15 kind of set the stage for the other Energy
16 Commission activities, that we're taking on
17 related to Building Decarbonatization.

18 And let me just say quickly before I jump
19 in, I also appreciated a lot of the discussion
20 this morning, particularly from the other states'
21 programs that are tackling the same topic. A lot
22 of commonalities that I think you'll see in some
23 of the discussions this afternoon. And
24 personally I'm looking forward to following up
25 with some of those individuals to help inform

1 some of our activities here in California, and
2 certainly feed into this IEPR.

3 Next slide, please.

4 So just to frame the discussion. There's
5 a broad effort across California to decarbonize
6 the State's economy. And really it's now more
7 important than ever, given the unprecedented
8 heatwaves and drought and wildfires that have
9 gripped the State in recent years. And knowing
10 that the need to address global greenhouse gas
11 emissions is increasingly important. And
12 California sort of leading by example and setting
13 the stage.

14 Today we're going to narrowly focus a
15 little more on the building sector, which you can
16 see from the slide here, with residential and
17 commercial buildings, it accounts for roughly 25-
18 percent of the State's greenhouse gas emissions.
19 And that accounts for fossil fuels consumed
20 onsite and electricity demand. Also some
21 consideration for refrigerant use for space
22 cooling and refrigeration systems that we'll
23 discuss in some detail.

24 And those of you that have tuned in to
25 some of our recent workshops, for example the AB

1 3232 Building Decarbonization Assessment Workshop
2 that was last Friday, we'll know there are sort
3 of multiple ways that we've looked at for
4 accounting for building GHG -- accounting for GHG
5 emissions in buildings. And there's a lot more
6 detail on our docket, and I'll provide some links
7 later on to that effect.

8 Next slide.

9 So there's a whole bunch of legislation
10 in recent years that really emphasizes the need
11 to focus on strategies to reduce greenhouse gas
12 emissions, underscored in recent years by the
13 legislature with -- not just SB 32, which really
14 looks economy-wide GHG reductions, but AB 3232 a
15 few years ago, which directed the CEC in
16 coordination with other agencies to assess the
17 potential to reduce building greenhouse gas
18 emissions 40-percent below 1990 levels by 2030.
19 Again, I'll provide a link to more information on
20 that a little later.

21 But supporting the, you know, portfolio
22 strategy of Senate Bill 100, looking at 100-
23 percent zero carbon resources for the electricity
24 supply by 2045. And then a range of incentives,
25 including SB 1477 that we'll hear more about this

1 afternoon, to get low emission building
2 technology deployed into California's buildings.

3 In addition to that, there's a whole
4 bunch of regulatory and other actions being
5 taken, not only at the Energy Commission, but at
6 the CPUC, that we'll hear more about today,
7 California Air Resources Board at the local
8 level, and at other agencies across the State, so
9 really assess and get a handle on some of the
10 strategies that can reduce building greenhouse
11 gas emissions.

12 Next slide.

13 So, really zeroing in on 3232, the
14 Building Decarbonization Assessment, this is a
15 good starting point for the CEC's overview
16 discussion because, again, it's a draft report
17 that was just published, and we had a workshop
18 last Friday on the topic in fact. And so lots of
19 good information on the website to get in a lot
20 more depth on some of the items discussed here.

21 But the report, as required by AB 3232,
22 looks at CO2 equivalent costs per metric ton
23 based on different strategies, looks pretty
24 closely at space and water heating and reflecting
25 cost-effectiveness as a key underlying

1 requirement for moving forward with new
2 technologies in those realms. Really and
3 emphasis on greenhouse gas emissions reduction
4 and low-income and multifamily housing, in
5 addition to high-rise buildings.

6 And a theme that you'll see reflected in
7 some of my slides, and some of the slides of
8 others, is really the need to focus on low-income
9 and multifamily housing, and prioritize
10 strategies that enable benefits for those
11 customer groups. And also consider any potential
12 negative, negative impacts that those customers
13 are -- may face.

14 I mentioned a whole bunch of legislation
15 up front. Another one that I could have easily,
16 just as easily have highlighted is Senate Bill
17 350, which was just, you know, less than six
18 years ago.

19 Five years ago there was a report that
20 outlined a bunch of strategies and a bunch of
21 needs unique to low-income communities and
22 disadvantaged communities. That the themes are
23 reflected throughout our program implementation
24 as you'll see today.

25 And load management strategies -- sorry,

1 last slide.

2 Load management strategies are also
3 considered within the realm of building
4 decarbonization, as directed by AB 3232. So
5 you're going to hear about some of the programs
6 that are implementing load management approaches,
7 and sort of re-envisioning the load flexibility
8 landscape in the State of California later today,
9 in addition to grid reliability impacts, which we
10 know is an increasingly important topic as we
11 continue to move towards 100-percent clean energy
12 resources in the State.

13 Next slide.

14 So there's a range of specific variables
15 and considerations that are mapped out through
16 the AB 3232 report. I'll just kind of gloss over
17 some of those here. Again, there's a lot more
18 depth, but it will give a flavor of some of the
19 topics that will come up through this workshop
20 and beyond into this year's IEPR discussion.

21 Consideration of existing buildings, and
22 particularly, you know, older buildings, some of
23 the unique issues they face. New construction
24 practices and the cost associated with new
25 construction for different building types. I

1 mentioned some consideration of heat pumps
2 specifically, and the low-global-warming-
3 potential refrigerants that are going to be
4 needed to support wide-spread deployment of heat
5 pumps.

6 And some onsite issues, such as electric
7 panel upgrades and other costs that should be
8 factored in as we look at what it's going take to
9 really decarbonize the State's buildings.
10 Internet access is also there. That's important
11 from a consideration of participation in certain
12 programs, enabling load flexibility features, and
13 also some equity considerations as well.

14 Next slide.

15 I'm going to avoid going into the depths
16 here, but really a range of variables from the
17 customer side as well. It's very important. And
18 in the CEC's programs we reflect the customer-
19 centric perspective. And so really just mapping
20 out the range of considerations that we need to
21 have an eye on, you know, including changes to
22 how customers and building occupants go about
23 their lives. Certainly focusing on cost-
24 effectiveness, and the need for any standards
25 that result in programs to be cost-effective.

1 And convey and properly account for costs and
2 benefits attributable to individual customers.

3 Next slide.

4 And so I'm just going to -- I'm going to
5 wrap up a few more slides here. But seven broad
6 strategies you're going to hear about today that
7 are reflected in our 3232 Building
8 Decarbonization Analysis, and in some of the
9 programs you're going to hear about today.

10 Building end-use electrification for
11 specific end uses, certainly accounting for cost-
12 effectiveness and technology performance and
13 availability, and being considerate of each
14 climate zone and the unique regions that state
15 has.

16 Decarbonizing the electricity generation
17 system. So Senate Bill 100 and the move toward
18 zero carbon resources.

19 Energy efficiency, both on the
20 electricity and gas side, are just as important
21 now as they have ever been in making sure that
22 we're able to, you know, make the biggest impact
23 with the kilowatt hours that we do need to
24 consume.

25 I mentioned refrigerant conversion.

1 There's some discussion of that, and a lot of
2 that's happening in the California Air Resources
3 Board realm, but certainly something we're paying
4 attention to.

5 And the growth of distributed energy
6 resources, including behind-the-meter generation,
7 and the need to, you know, account for the self-
8 utilization of that generation, and also ensure
9 there's sort of minimal impact to the grid.

10 Some efforts to decarbonize the gas
11 system and pay attention to emerging technologies
12 there and opportunities. And the new realm of
13 demand flexibility, and really taking a close
14 look at what role the demand side can play in
15 supporting this transition to 100-percent clean
16 energy, while maintaining grid reliability and
17 supporting building decarbonization.

18 Next slide.

19 I mentioned SB 100. I won't dwell on
20 this, but we're marching towards 100-percent
21 clean energy, zero carbon resources by 2045.
22 Senate Bill 100 has a plan that's mapping that
23 out. There's a link on the slide, and as of
24 2019, we're well on our way with over 63-percent
25 of resources already zero carbon.

1 Next slide.

2 So I mentioned, you know, a broad suite
3 of strategies, and there's various ways those are
4 being implemented at the CEC today. One of those
5 is the proposed 2022 Energy Code Update that is
6 currently in an open-comment period. And there's
7 really, the considerations of that effort reflect
8 a lot of what I've talked about.

9 But increasing energy efficiency with a
10 clear emphasis on cost-effective measures,
11 considering climate zones, while contributing and
12 shifting to support the greenhouse gas reduction
13 goals that we've talked about, while removing
14 barriers and enabling pathways for all-electric
15 buildings, and considering impacts to the
16 electricity grid and grid reliability in that
17 process.

18 Which includes building upon the 2019
19 building standards that established the first in
20 the nation low-rise residential rooftop
21 photovoltaics requirement, and looking more
22 closely at the non-residential equivalent.

23 Also providing tools for local
24 governments who want to extend beyond the minimum
25 statewide standard for local reach codes.

1 Next slide.

2 Four main themes throughout the 2022
3 proposed Standards Update. The shift towards
4 electric heat pumps, four specific end uses where
5 it is feasible and beneficial and cost-effective.
6 Looking at electric-ready requirements for
7 buildings. I mentioned the non-residential solar
8 and batteries proposal that's in there as well.
9 And improving indoor air quality by updating the
10 ventilation standards included in the code.

11 Next slide.

12 Those of you that have attended any
13 business meetings this year will know that
14 there's been a lot of action on the local front
15 to support local reach code adoption that extend
16 beyond the statewide building energy efficiency
17 standards.

18 We now have over 48 local jurisdictions
19 that have adopted -- forty local jurisdictions
20 that have adopted over 48 local energy
21 ordinances. A lot of those connect -- extending
22 beyond to support building decarbonization
23 themes. And now one in three Californians
24 actually lives in a community with an energy code
25 beyond the statewide standard.

1 Next slide.

2 I'm going to avoid dwelling on this
3 slide, but it really just highlights the need for
4 us to account for load flexibility. And the
5 opportunities where you look at the green
6 highlight here, is times of low emissions on the
7 grid, typically aligning with peak solar
8 production and renewable availability. And then
9 as we get into the evening, and even in the
10 mornings, there's increased carbon on the grid
11 and increased GHG in grid electricity.

12 And so making sure that there's the
13 ability to schedule, shift, and curtail load to
14 align with those times of low emissions.

15 Next slide.

16 Again, another very dense slide, but the
17 key gist of this is that we're looking with the
18 CEC's load management standards. Updating those
19 standards to reflect the need to convey rate
20 information from utilities that are time-
21 dependent out to customers, out to devices, to
22 enable those devices and appliances to respond
23 accordingly to times of low prices and times of
24 low greenhouse gas emissions.

25 And this is really a complex landscape

1 that we're hoping to help make sure to provide
2 clarity to and provide new ways to communicate
3 those prices to devices.

4 Next slide.

5 Senate Bill 49 is the other side of the
6 load flexibility equation, where the CEC is
7 building out new standards to support flexible
8 demand in appliances as a result of SB 49 that
9 passed a couple years ago. And really we're just
10 getting our bearings with the staff proposal
11 coming shortly that considers the range of
12 potential for load shift of those appliances,
13 while also considering technology readiness and
14 other factors.

15 But here I've listed some of the
16 statutory requirements we have to address,
17 including making sure that cybersecurity is right
18 up front in that conversation, and that any
19 standards are ultimately open-source and user-
20 friendly.

21 Next slide.

22 And as I mentioned, there really is a
23 commitment throughout these programs to
24 prioritize and invest in consumer-centric
25 approaches, particularly low-income customers and

1 disadvantaged communities. And there's a range
2 of ways that we are doing that, including
3 committing to the principles of inclusion,
4 diversity, equity, and access.

5 Collaborating and discussing any plans
6 and proceedings with the Disadvantaged
7 Communities Advisory Group, formed by Senate Bill
8 350 in coordination with the Public Utilities
9 Commission.

10 Consulting with tribes and also
11 partnering with local communities and community-
12 based organizations across the State, to make
13 sure we understand and are reflecting the
14 priorities as experienced by locals and by
15 building occupants.

16 Next slide.

17 And I will go ahead and stop here. I
18 think I went a little over time, but happy to
19 answer any questions that anyone has.

20 MS. RAITT: Thanks, Mike. I think we're
21 going to try to hold questions until the end.

22 So, Ingrid, if you'd like to go ahead and
23 begin.

24 MS. NEUMANN: Yes. Thank you for the
25 opportunity to present the analysis efforts of

1 the Energy Assessments Division in support of
2 Building Decarbonization.

3 First we would like to share some
4 recently completed work in support of the AB 3232
5 California Building Decarbonization Assessment.
6 This piece of legislation asked us to assess the
7 potential for the State to reduce the emissions
8 of greenhouse gases in the State's residential
9 and commercial building stock by at least 40-
10 percent below 1990 levels by January 1st, 2030.

11 The AB 3232 analysis is informational,
12 and explores one or more scenarios independently
13 within numerous possible decarbonization
14 strategies. Our team's goal was to investigate
15 which scenarios could meet or exceed the 40-
16 percent GHG reduction goal.

17 So on this slide you can see our
18 analysis. We first had to define the scope. So,
19 we had to set a 1990 GHG emission baseline to
20 determine the 40-percent GHG reduction goal for
21 2030. Here we're showing a system-wide baseline,
22 which includes emissions from the electric
23 generation system, fossil gas, as well as non-
24 fossil gas consumption, fossil gas leakage, stock
25 as well as incremental heat pump HFC leakage, all

1 added together.

2 The cumulative total of these emissions
3 in 1990 is shown the left-most column, and it
4 yields 124.1 million metric tons of carbon
5 dioxide equivalent. This means the 40-percent
6 reduction target shown in the red dotted
7 horizontal line is 74.4 MM tons.

8 The second column from the left shows
9 emissions from the CARB inventory in 2018, and
10 the following third column shows where we are in
11 2020 when we started this analysis. Then the
12 fourth column from the left shows where we're
13 projected to be in our business-as-usual case in
14 2030.

15 In order to figure out what that business
16 as usual or 2030 baseline case would look like,
17 staff relied on the 2019 Integrated Energy Policy
18 Report, California Energy Demand Forecast, to
19 establish the reference baseline, or our
20 business-as-usual assumption of 2030 GHG
21 emissions.

22 This business-as-usual case includes many
23 building decarbonization efforts, including
24 energy efficiency, PV, SB 100 RPS compliance, as
25 well as traditional, non-event-base load

1 management programs.

2 The business-as-usual forecast for 2030
3 projects us to be at 79.9 MM ton carbon dioxide
4 equivalent. That means we would need to reduce
5 emissions by an additional 5.5 MM tons to meet
6 that 40-percent reduction.

7 Next slide, please. Sorry. I got ahead
8 of myself. Not next slide. If we could go back.

9 So we define one or more scenarios to
10 analyze with the broad building decarbonization
11 strategies, which are discussed in the AB 3232
12 report.

13 First was building end-use
14 electrification, and we're showing four scenarios
15 here in the middle cluster on this chart. And
16 then include a broad range and combination of
17 electrification for new construction, as well as
18 appliance burnouts and early replacement of
19 appliances in existing buildings.

20 Second, we looked at decarbonizing the
21 electric system by accelerating the RPS from the
22 60-percent required in 2030 by SB 100, up to 70-
23 percent.

24 Next we looked at energy efficiency, both
25 on the gas and the electric side. So these were

1 additional, aggressive incremental efforts that
2 go above and beyond our business-as-usual
3 forecasts. As far as distributed generation and
4 storage, we looked specifically at the scenario
5 of behind-the-meter rooftop PV. So a high
6 penetration of that, rather than the middle
7 penetration considered in our business-as-usual
8 case.

9 And lastly we looked at decarbonizing the
10 gas system by substituting 20-percent of fossil
11 gas throughput with renewable gas by 2030.

12 Next slide, please.

13 We have a lot of plans for future work,
14 some of which has started. EAD plans to expand
15 on our technical capabilities for energy
16 efficiency tracking and scenario projections,
17 such as for the SB 350 tracking we do, and our
18 additional achievable energy efficiency forecast.

19 We will incorporate new data, such as
20 from utility and other incentive programs to
21 update historical savings, as well as improve our
22 projections. Add new energy efficiency program
23 savings, incorporate updates to codes and
24 standards, such as Michael just mentioned for
25 Title 24. Consider overlap in customer segments

1 being targeted by different programs, as well as
2 consider market-based activities that may result
3 in energy efficiency savings that are not being
4 captured elsewhere as of yet.

5 Next slide, please.

6 EAD also plans to expand on our technical
7 capabilities for electrification scenarios, so we
8 can move from a what-if analysis, such as used to
9 support AB 3232, to more projections.

10 We will further disaggregate low-income
11 single family and low-income multifamily as
12 separate residential sectors, so we can look at
13 equity closer. We will incorporate new data,
14 such as from utility and on-ground incentive
15 programs, as well as incorporate electrification
16 resulting from the local ordinances. And that
17 from the proposed 2022 Title 24 updates, which
18 encourage electrification, we will incorporate
19 more diversity in space heating and cooling load
20 profiles, as well as explore additional end uses
21 and fossil fuels for electric technology
22 substitution.

23 Lastly, we will explore various
24 contributions to building electrification so that
25 we can use that as a load modifier to our IEPR

1 Forecast.

2 Last slide, please.

3 Lastly, we are growing our economy-wide
4 analytical capacity. New tools are being
5 developed in support of policy development
6 towards California's mid-century climate goals.
7 These long-term demand scenarios will be designed
8 to complement the traditional 10-year forecast
9 and -- gas and electricity demand forecast, used
10 for energy planning and procurement purposes
11 currently, and may help inform future policy
12 decisions.

13 Thank you, and that concludes my
14 presentation on EAD's Decarbonization Activities.

15 MS. RAITT: Thank you, Ingrid.

16 Go ahead, Virginia.

17 MS. LEW: Hi. Good afternoon everybody.
18 I'm going to give you a overview of some of the
19 research and development activities that we are
20 focusing on here at the Energy Commission.

21 Next slide, please.

22 The CEC's R&D Program focuses on
23 innovations in areas like energy efficiency,
24 energy generation, storage, grid resiliency,
25 renewable integration, and low-carbon

1 transportation, to bring breakthroughs from the
2 lab to the marketplace, and these investments are
3 organized around the areas shown here.

4 For building decarbonization, the focus
5 is on investing in new energy technologies to
6 improve affordability, health and comfort of
7 California residential and commercial buildings.

8 Next slide, please.

9 The CEC has two main research and
10 development funding programs. The Electric
11 Program Investment Charge, or EPIC, focuses on
12 research that benefits electric ratepayers. The
13 Natural Gas Research and Development Program
14 focuses on projects that benefit natural gas
15 ratepayers. But both programs provide funding
16 through competitive solicitations to invest in
17 technologies and strategies to catalyze change
18 and accelerate achievements of our state policy
19 goals.

20 Next slide, please.

21 Our research also focuses on supporting
22 under-resourced communities by increasing their
23 access to clean energy technologies that can
24 lower their energy burdens, address some of the
25 challenges and reduce their costs.

1 Underresourced communities include
2 disadvantaged communities, low-income communities
3 and Native American tribes. The map on the right
4 shows the locations of all of our EPIC projects
5 that have been benefited these communities.

6 Next slide, please.

7 Electrifying HVAC and water heating
8 systems with high-efficiency units is a critical
9 strategy for decarbonizing our buildings. Our
10 research has focused on developing advanced heat
11 pumps that integrates the best available energy
12 efficient technologies into one unit.

13 Retrofitting multifamily buildings could
14 be difficult, costly, and very disruptive to
15 tenants. We are working on developing integrated
16 mechanical modules that includes the HVAC and hot
17 water heating units, controls, and monitoring
18 systems all within one module. And then these
19 modules can be mass produced and then installed.

20 And lastly, we are working also on low
21 global warming heat pumps that can be plugged
22 into 120 volt outlets, thus eliminating the need
23 for panel upgrades.

24 This unit by Treau incorporates a low-
25 cost polymer heat exchanger that can reduce

1 energy use by 33-percent for cooling, and 70-
2 percent for heating. These units can be easily
3 installed in a window, but unlike a window air
4 conditioner, you can still open and close the
5 window for ventilation.

6 Next slide, please.

7 Building envelope retrofits are critical
8 to improving energy efficiency and reducing
9 energy costs for residents, but are rarely
10 included in renovations because they are costly.
11 Multifamily buildings are especially challenging
12 to retrofit.

13 We have a research project that is
14 focused on using prefabricated exterior envelope
15 panels that could be placed directly over the
16 exterior facade of the building. These exterior
17 panels will be manufactured offsite, brought to
18 the building site, and then they could be
19 installed in less than one week in a building.

20 Windows are the poorest thermal
21 performing envelope system. We have a couple of
22 examples of some of our window research here.
23 The one in the middle shows the demonstration
24 that we will be doing on thin glass triple-paned
25 windows, that could be used in multifamily or

1 single family homes. And these window units have
2 the same size and weight as a double paned
3 window, but with a thermal performance of a
4 triple paned window.

5 And then the picture on the right, a
6 project with Ubiquitous, shows another possible
7 solution where we could embed PV directly into
8 the windows, while still letting in visible
9 light.

10 This project will commercialize the
11 transparent coating that can be applied directly
12 to the glass windowpanes to generate electricity,
13 and simultaneously provide high energy
14 efficiency, with the potential to reduce HVAC
15 heating and cooling demand by up to 30-percent.

16 Next slide, please.

17 Among commercial buildings, hospitals are
18 the most energy-intensive facilities in
19 California. One way to control moisture in large
20 buildings is to use a chiller to first cool down
21 the air to dehumidify the air, and then use
22 natural gas to reheat it back up to the desired
23 temperature. The goal of this project is to
24 reduce or eliminate natural gas use for reheat,
25 while also reducing the cooling load.

1 We are also in the process of preparing a
2 decarbonizing healthcare guidebook, to provide
3 healthcare facilities with a clear path to
4 decarbonizing their buildings. This guidebook
5 will be interactive, and you can get more
6 information at this link.

7 Next slide, please.

8 Our research program also sponsors a two-
9 phase design-build competition known the EPIC
10 Challenge. In the first phase recipients plan
11 and design advanced energy communities, and in
12 the second phase these recipients compete for
13 funding for the full buildout of the project.

14 We have two projects that we're
15 highlighting here, the Basset-Avocado Heights
16 Project in Southern California will demonstrate
17 how locally produced renewable and affordable
18 energy can benefit residents.

19 And the project on the right is with
20 Richmond Advanced Energy Community Project, and
21 that will focus on redeveloping blighted homes to
22 zero net carbon ready.

23 Next slide, please.

24 Demand flexibility will be critical for
25 supporting the grid and transitioning to a

1 carbon-free energy system. Demand flexibility is
2 promising for reducing GHG emission in buildings,
3 with a potential of shifting electric loads to
4 benefit the grid.

5 The CEC recently funded the California
6 Load Flexibility Hub with Lawrence Berkeley
7 National Lab for the purpose of increasing the
8 use and market adoption of advanced
9 interoperable, flexible demand technologies and
10 strategies as grid resources.

11 Next slide, please.

12 We've also created a free network --
13 networking platform that enables subscribers to
14 connect with potential project partners, search
15 for funding opportunities, and message members
16 directly. This is a great way to connect and
17 build strategic partnerships. And you can sign
18 up for the link that's given on this slide.

19 Next slide, please.

20 So we're in the process of developing our
21 next EPIC Investment Plan. We will have a series
22 of workshops in June and July to get stakeholder
23 input, and potential topics are shown here. And
24 so I encourage you, if you're interested, to
25 please sign up and be notified and participate in

1 our workshops.

2 So, next slide, please.

3 And that concludes my presentation.

4 Thank you very much.

5 MS. RAITT: Thank you, Virginia. This is
6 Heather.

7 Natalie Lee, are you available?

8 MS. LEE: I am. Thank you.

9 MS. RAITT: Great.

10 MS. LEE: Thank you, Heather. And thank
11 you for your patience with me and in joining late
12 today.

13 Good afternoon, Commissioners and
14 workshop attendees. It's a pleasure to be here.
15 I'm Natalie Lee, Deputy Director for Renewable
16 Energy at the Energy Commission. And I'm here
17 today to provide just a brief overview of one of
18 the programs we implement, the Building
19 Initiative for Low-Emission Development, more
20 commonly referred to as the BUILD Program.

21 I am joined today by the Manager for the
22 Program, Deana Carrillo. She and I will be
23 available for questions following the
24 presentation.

25 Next slide, please.

1 This slide presents just some of the
2 framework requirements for the program. It's
3 important to note that at this point in time we
4 have some of our requirements set by statute and
5 by CPUC decision, but we are still on the -- in
6 the process to establish program guidelines. But
7 what we can provide, again, for the framework
8 here, is from Senate Bill 1477, which was passed
9 in 2018, and authorized the BUILD Program, as
10 well as the technology and equipment for clean
11 heating, or TECH Initiative.

12 The BUILD Program was established to
13 encourage the adoption of near-zero emission
14 technologies in new residential buildings, and
15 does so through the award of financial incentives
16 and the provision of technical assistance.

17 The legislation set targets for
18 participation by low-income communities, and
19 further required that in low-income communities
20 that participation in BUILD not result in a
21 higher utility cost for the tenants.

22 In addition to the statutory
23 requirements, the CPUC undertook a rulemaking on
24 building decarbonization, which in part
25 established additional provisions for the BUILD

1 Program. And through decision 20-03027 in early
2 2020, designated the CEC as the program
3 administrator, and established a budget for the
4 BUILD Program as \$80,000,000, with \$60,000,000
5 identified specifically for financial incentives,
6 and additional funds for technical assistance.

7 The decision further identified that the
8 program, at least initially, award all funds for
9 low-income housing projects and requires eligible
10 projects to be all electric.

11 The CPUC decision also required the CEC
12 to develop an implementation plan, and -- for
13 approval by the CPUC, that was developed through
14 a public process, and was very recently approved.
15 The implementation plan essentially serves as a
16 framing documents to support the development of
17 program guidelines. And as I mentioned, that's
18 still in process. We anticipate issuing draft
19 program guidelines later this summer, and holding
20 public workshops to solicit public input on the
21 proposed design, and to develop that final
22 program design.

23 As noted on this slide, SB 1477 did also
24 provide a definition for income eligibility. And
25 you can read the slide. I don't need to do that

1 for you. But it does effectively rely on
2 existing Public Utilities Code -- apologies for
3 the minor typo on this slide, and other code
4 sections that are commonly used in low-income
5 programs for our definitions for BUILD
6 eligibility.

7 Next slide, please.

8 The scope of technical assistance
9 provided by the BUILD Program -- excuse me. A
10 little glitch in my system. Hopefully you can
11 all hear me -- is a -- it's a critical part of
12 supporting the adoption of the technologies. As
13 mentioned by Mike early in the -- his
14 presentation, there are a number of barriers and
15 challenges to overcome.

16 And the design of this program recognizes
17 that technical assistance can address many of
18 these challenges, and support a number of the
19 affected populations from the design and modeling
20 of new buildings through the necessary analysis
21 and approval phase, and into construction,
22 installation of equipment, and even operation.
23 And we hope that our technical assistance
24 provider can address a large range of these
25 challenges.

1 We are currently soliciting for the
2 technical service -- technical assistance service
3 provider. EFP is on the street right now. As a
4 matter of fact, the workshop for potential
5 bidders was held this morning very successfully.

6 And we will be posting the recording from
7 that pre-bid conference for any parties who
8 weren't able to attend due to the conflict with
9 this workshop. The deadline for submitting
10 proposals is June 14th. The deadline for
11 submitting any questions for clarification is
12 tomorrow.

13 But within that technical assistance
14 contract, we don't have the contractor yet, and
15 we hope that party will help us to refine the
16 scope of work, but generally speaking, we have
17 identified the areas that the contractor will
18 work in, and that will be as demonstrated here,
19 the project design. How that technical
20 assistance can help us to overcome technical
21 challenges, permitting assistance, supporting
22 developers, supporting the architect and energy
23 consultant roles, and applying for incentives,
24 the financial incentives under the BUILD Program.

25 Next slide, please.

1 Moving into our preliminary discussion of
2 the program design, this is consistent with what
3 you'll see in the implementation plan. And this
4 is specific to the award of incentives. Again, I
5 want to restate that the program is still in a
6 planning stage, and there is a lot of opportunity
7 to still have input into this incentive design.

8 But consistent with the implementation
9 plan, we have proposed a program consistent with
10 the statute, and which incentives are based on
11 GHG performance of the overall buildings. The
12 assessment of GHG benefits is based on -- or is
13 analyzed with a baseline of a 2019 mixed-fuel
14 building that is compliant with energy efficiency
15 requirements.

16 As I mentioned, to be eligible for BUILD
17 incentives, buildings are required to be all
18 electric. And based on that we anticipate space
19 conditioning, water heating, heat pump
20 technologies generally, but are also looking at
21 highly efficient building design elements to
22 demonstrate further efficiency, and this will
23 assist in meeting the requirement for tenant bill
24 savings, or at least no negative bill impact.

25 We are also looking at potentially adding

1 kicker incentives that are technology specific to
2 base awards. And, again, these are just some
3 early proposals demonstrated in implementation
4 plan of a range of possible technologies that
5 could be eligible for additional kicker
6 incentives. Generally, these are -- we see these
7 as technologies that are either necessary to
8 realize the full benefits of the base
9 technologies, or that are really required due to
10 the shift to all electric.

11 Next slide, please.

12 And this is where we're at in our
13 development timeline. We're definitely not at
14 the finish line here. There's lots of
15 opportunities still for engagement, but we have
16 had a lot of public input to date through the
17 CPUC's processes, as well as the CEC's processes.

18 We do hope to issue some draft guidelines
19 this summer. We will be looking for continued
20 engagement, and really seek your involvement in
21 helping us with this program design, to make sure
22 it's practical, and that we have a good
23 subscription at this key, critical timeframe for
24 adopting new technologies.

25 And with that, I will just share some

1 contact information. And again, I'll stay
2 available for questions, as will Deana Carrillo,
3 our Program Manager.

4 COMMISSIONER MCALLISTER: Great. Thanks.

5 MS. RAITT: Thank you, Natalie.

6 Go ahead.

7 COMMISSIONER MCALLISTER: Great. Yes,
8 thanks. Thanks, Natalie and everyone. That was
9 I have to say, you covered a lot of ground and
10 did a great job. We're just a little bit over
11 time.

12 I did want to give my colleagues on the
13 dais -- since I oversee this, I don't really feel
14 the need to ask questions myself, but I would
15 invite Commissioners Gunda, Monahan and or
16 Rechtschaffen, if they have questions for the
17 Commission staff, to Mike, Ingrid, Virginia, and
18 Natalie or Deana, then go ahead.

19 COMMISSIONER RECHTSCHAFFEN: No questions
20 from me, Commissioner McAllister.

21 COMMISSIONER MCALLISTER: All right.

22 COMMISSIONER GUNDA: Yeah. None from me
23 either, Commissioner McAllister.

24 COMMISSIONER MONAHAN: Okay. I have one
25 question, just one though.

1 COMMISSIONER MCALLISTER: All right.

2 COMMISSIONER MONAHAN: Just one. And
3 because transportation is what I know the best,
4 that's why I always come back to. So, sorry.

5 But I'm just thinking about the Ford F-
6 150 electric version, the Lightning, which I
7 can't wait to test drive. It will be fun. And
8 it's the first vehicle that really is, is
9 advertising this vehicle to building -- vehicle-
10 to-home technology. And it's even -- you could
11 even, you know, access it. And it's much more
12 powerful, even though they haven't released the
13 stats on it, but it seems maybe 10 times more
14 powerful than the Powerwall.

15 So on the storage guide -- and maybe this
16 is more of a question than more of a comment,
17 because I don't know if anybody's thought about
18 this. But this idea about how do we integrate
19 that type of, you know, battery on wheels into
20 our strategy for building decarb? Like what's
21 our -- and I think it's just food for thought for
22 this group and others, because we want to create
23 those incentives. I think if there is a way to
24 optimize that battery in the vehicle to provide
25 that storage capability, and provide energy back

1 when needed, not just during times when the power
2 is out, it just seems like that's an opportunity
3 that we should really be thinking about how to
4 capitalize on.

5 COMMISSIONER MCALLISTER: That's a great
6 point. I mean, you get a hearty, you know, a
7 hearty second -- second that from me. I don't
8 know if anybody on the Commission -- I mean, I
9 know that some of the -- well, certainly we're
10 thinking about this in all of these
11 decarbonization contexts, but I wonder if any of
12 the panelists have anything specific that we've
13 got going on. Maybe Virginia or -- well, maybe
14 in RD&D is maybe the most likely.

15 MS. LEE: Well, I think while Virginia is
16 joining, this is Natalie, and I'll just mention
17 that we have -- first of all, thank you for the
18 comment, Commissioner. And it's well taken. And
19 we definitely will take that back into the BUILD
20 Program design for, you know, some thought and
21 creative design considerations.

22 We were very successful in the renewable
23 energy for ag program in finding a way to, you
24 know, serve multiple purposes and to reward those
25 projects that looked at comprehensive designs and

1 included EV charging infrastructure with the
2 integration of renewable energy technologies.

3 So, I feel like there's going to be an
4 opportunity, I just really appreciate you, you
5 know, bringing up that thought and that thinking
6 to the top of our minds.

7 MS. LEW: Yeah. So I also will take that
8 back to our group here. We've done projects
9 associated with vehicle -- building-to-grid type
10 of opportunities. And so I think this a
11 potential opportunity.

12 I know that I -- I heard kind of
13 anecdotal stories on the Texas, you know,
14 electrical power failure earlier this year, and
15 some of the people that had electric vehicles,
16 Teslas, they actually used it to power their
17 houses when, you know, the power was out.

18 So I think there's an opportunity here,
19 you know, I think the F-150, the price point is
20 supposed to be cheaper than others. And so I
21 think there's definitely an opportunity. So I'll
22 take it back to our group and we'll discuss it,
23 and see whether we can include something in our
24 future research activities. Thank you.

25 MS. RAITT: Great. Thank you.

1 MR. SOKOL: I think if I may just add
2 quickly, too, in the context of the efficiency
3 standards that we set. I think it's a really
4 good question, and it's something that we
5 certainly don't have a firm grasp on at this
6 point, but know that it is a priority and are
7 starting to, you know, gather knowledge and
8 consider what are -- you know, how could we
9 approach something like that.

10 And particularly through the appliance
11 standards side, as we look at load flexibility
12 and the need for flexible appliances and what --
13 you know, EV charging infrastructure versus the
14 vehicles themselves could do -- what functions
15 could be provided.

16 It's something that we're collaborating
17 with staff in Fuels and Transportation Division,
18 other divisions, to really beef up our knowledge
19 and kind of map out what some of that roadmap
20 could look like. So great question.

21 COMMISSIONER MCALLISTER: So thanks to
22 the three of you. I wanted to just chime in.
23 Mike, I wanted to make that point as well. So,
24 thank you. But the ecosystem -- well, right now
25 as we speak there's a, you know, demand response

1 or a load flexibility workshop over at the CPUC.
2 And that forum is also very relevant to that
3 question.

4 And certainly rate making is a place
5 where, you know, daily kind of demand response
6 and charging habits, habits can affect the load
7 shape in a positive way. And then, you know,
8 also you can potentially use that kind of an
9 approach to incentivize people to plug in for
10 grid benefit.

11 The platform for that, you know, the load
12 management standards could be very relevant for
13 that in our SB 49, as Mike said, appliance
14 flexibility. You know, we could maybe treat cars
15 as an appliance. And so, obviously that's a big
16 group of vocal stakeholders, as you know better
17 than anybody here. But I think if there is a
18 path to success, you know, we might try to get
19 some good conversation going and we -- so.

20 COMMISSIONER MONAHAN: Of course. Thank
21 you. Yeah, I mean, what makes this really a game
22 changer is to potentially to -- this is the first
23 vehicle that can give power back. It's the first
24 one in the United States. I mean, theoretically,
25 the Nissan Leaf could do it, but we didn't ever

1 have the technological capacity to do it. But
2 this one, Ford is advertising this.

3 COMMISSIONER MCALLISTER: Yeah, I mean --

4 COMMISSIONER MONAHAN: They're trying to
5 -- that's unique.

6 COMMISSIONER MCALLISTER: It's full of
7 plugs, right? I mean, you can go plug anything
8 you want in there, you know. So, very cool. So
9 thanks for bringing that up.

10 COMMISSIONER GUNDA: Commissioner
11 McAllister.

12 COMMISSIONER MCALLISTER: Yes, please.

13 COMMISSIONER GUNDA: I just wanted to
14 kind of share one, share one specific thought on
15 Commissioner Monahan's point. I think from just
16 a numbers standpoint, I think the preliminary
17 assessment was, you know, if we were to meet the
18 Governor's Executive Order, we'll be hitting
19 about 8,000,000 vehicles on the road, which could
20 potentially contribute to about 480,000 megawatt
21 hours of storage available, with kind of the fact
22 that about 96- to 97-percent of the time vehicles
23 are sitting idle. So, I mean, I think this is an
24 incredible I think point, and hopefully we'll
25 kind of continue to make progress on that end,

1 too. So, I thank you, Commissioner Monahan, for
2 raising it specifically at the grid side, I mean,
3 all ears on that one. Anything we can do.

4 COMMISSIONER MCALLISTER: It's funny,
5 right, because we've been driving around these
6 power plants on wheels, basically, and as you
7 said, they sit idle. And now we have batteries
8 on wheels, and they could really be a benefit.

9 And correct me, Commissioner Monahan, but
10 the F-150 is the best-selling passenger vehicle
11 in the nation for like the last 10 years, right?

12 COMMISSIONER MONAHAN: Best-selling
13 series of Ford. So they have a number of F-150's
14 --

15 COMMISSIONER MCALLISTER: Uh-huh. Yeah.

16 COMMISSIONER MONAHAN: -- but, yes, it's
17 the best-selling series in America.

18 COMMISSIONER MCALLISTER: Wow. Yeah, so
19 huge potential. All right. So we've -- we're
20 somewhat over time, so I'm going to close it out
21 there and ask Heather to get us on to the next
22 panel, the second panel of the afternoon.

23 MS. RAITT: Great. Thank --

24 COMMISSIONER MCALLISTER: Thank you.

25 MS. RAITT: Thanks, Commissioners.

1 So I'll go ahead and introduce our panel
2 on California's Building Decarbonization
3 Activities. And the moderator for this panel is
4 Gabriel Taylor. Gabriel is the Senior Engineer
5 with the Energy Commission's Efficiency Division,
6 focused on decarbonization and load flexibility.

7 Gabriel, go ahead.

8 MR. TAYLOR: Good afternoon. Thank you,
9 Heather. Thank you, Commissioners, and thank you
10 to all the attendees for joining us today. And
11 thank you to my colleagues for that summary of
12 the work done at the Energy Commission in
13 building decarbonization.

14 We're now going to broaden our focus to
15 the entire State, and to do that we have five
16 panelists to speak on a diverse array of work.
17 It's an incredible amount of work going on in
18 California right now on building decarbonization.

19 First I'd like to welcome Kyle Krause,
20 the Deputy Director for Codes and Standards at
21 the California Department of Housing and
22 Community Development.

23 Kyle?

24 MR. KRAUSE: Thank you, Gabe. I should
25 be on now. Hopefully you can hear me. I'll say

1 I'll take that as a yes.

2 MR. TAYLOR: Yes, sir.

3 MR. KRAUSE: So, thank you for the
4 introduction, and I just want to on behalf of
5 HCD's Director, Gustavo Velasquez, I'm very happy
6 to present an update on what HCD has been working
7 on as related to the adoption of the 2022
8 CalGreen Code, which is effective January 1st of
9 2023.

10 So, we are a proposing agency, so we
11 propose the adoption of building standards, and
12 in this case we're talking about electric vehicle
13 charging standards, which can be considered part
14 of a larger building decarbonization effort. So,
15 HCD worked collaboratively with the California
16 Air Resources Board, CARB, and we anticipate
17 working in additional areas of codes, such as
18 building electrification in future rule-making
19 cycles.

20 Also to point out, HCD recently updated
21 our mission statement, and it now reads as
22 follows, "promote safe, affordable homes and
23 vibrant, inclusive, sustainable communities for
24 all Californians."

25 So we've added the word "sustainable" to

1 our mission, and that's really key because we
2 rely on this mission to endeavor to strike a
3 balance between housing affordability and
4 ensuring that we're addressing climate change and
5 health and safety of Californians.

6 So, I would be remiss if I didn't thank
7 our partners in this work that we have been
8 working feverishly on this year, especially CARB
9 staff, GO-Biz, the Governor's Office, the
10 California Building Standards Commission, the
11 State Legislature, building industry, and many of
12 our other stakeholders for the valuable input
13 that we received as we developed the proposal.
14 And a special thanks to my team and our State
15 Housing Law Program led by Emily Withers.

16 Next slide, please.

17 So -- whoops, we went one too far. There
18 should be an authority. Yeah. Thank you.

19 So, HCD, as I said, we're a proposing
20 agency, and we derive our authority from the
21 Health and Safety Code, both in State housing law
22 and building standards law.

23 So, in building standards law there are
24 specific statutory guidance for green building
25 standards, which allows other State agencies to

1 propose -- or provide input to proposing
2 agencies. And generally, the building standards
3 that are proposed by HCD apply to newly-
4 constructed residential buildings or additions of
5 new conditioned space to existing residential
6 buildings.

7 Next slide, please.

8 So, again, we know that there's been
9 several executive orders and legislation. Some
10 of the executive orders have given us some really
11 good guidance on where we need to head. You
12 know, we're going to have millions of electric
13 vehicles on the road very shortly, and we need
14 chargers for those electric vehicles.

15 And with Governor Newsom's executive
16 order that will require 100-percent of passenger
17 cars and light trucks to be electric vehicles or
18 zero-emission vehicles by 2035, time is of the
19 essence.

20 There was legislation in 2019 that was
21 vetoed by the Governor, but in that veto message
22 Governor Newsom directed HCD to propose mandatory
23 EV charging provisions in existing multifamily
24 buildings. However, HCD was not able to get that
25 work complete due to the intervening code

1 adoption cycle timeline. We have included some
2 efforts in this most recent, the current
3 triennial adoption. So, we hope that that hits
4 the mark there, recognizing that there are some
5 statutory limitations as far as how far we can go
6 into existing buildings require -- that would
7 require retrofits.

8 But CARB as a State agency with expertise
9 in green building standards, approached HCD
10 during the pre-cycle of the current triennial
11 code adoption cycle, to increase EV charging for
12 multifamily buildings. HCD agreed, and we
13 proposed -- we conducted two focus group meetings
14 in early 2021 and solicited feedback.

15 Overall the feedback indicated there were
16 needs for both low power electric vehicle
17 charging and higher power EV charging, to allow
18 residents of multifamily buildings to buy, own
19 and charge their electric vehicles where they
20 live. Since parking of personal vehicles where
21 we live is among the longest dwell times for
22 vehicles, so it only makes sense that there's
23 charging access in newly-constructed residential
24 buildings.

25 Next slide, please.

1 Some of the terminology in our proposal,
2 the last three bullet points you're going to see
3 EV Ready Space. This is a space where there is
4 actually a plug or a charger available to plug in
5 an electric vehicle. Also, Level 2 EVSE, or EV
6 Supply Equipment. And something new, low power
7 Level 2 EV Charging Receptacle. This is simply a
8 240 volt receptacle at a low power Level 2
9 charging. It still takes some time to charge,
10 but it provides a number of different ranges.

11 Next slide, please.

12 So when we look at our new one- and two-
13 family homes under the current code. All single-
14 family homes are required to be EV capable, and
15 have a raceway from the electrical panel to a
16 parking area that allows somebody to install an
17 EV circuit and connect a charger.

18 We didn't make any change. We were
19 really focused on -- in this cycle multifamily
20 dwellings.

21 So, next slide, please.

22 So when we talk about new multifamily
23 dwellings, the current requirement is that 10-
24 percent of those spaces are EV capable. This is
25 to allow a future installation of electric

1 vehicle charging spaces and chargers. We did not
2 make any change to this because we still think
3 that that is a valuable way to ensure future
4 expansion.

5 Next slide, please.

6 Now as far as hotels and motels, we did
7 slightly increase in our proposal the number of
8 EV capable spaces to -- from six-percent to 10-
9 percent. But more importantly, if we look at the
10 next slide, we're talking about grouping all of
11 the requirements for multifamily and hotel and
12 motels in the same, all in the same requirements.
13 So there's no difference between multifamily
14 dwellings or hotels and motels. So this is
15 really the game changer right here. This is
16 where EV charging becomes available. We are
17 proposing that 25-percent of all parking spaces
18 that are provided include low power Level 2
19 receptacles. And then five-percent of the
20 parking spaces in buildings with 20 or more units
21 will have full power Level 2 chargers, or Level 2
22 EVSE.

23 And then if somebody voluntarily installs
24 more chargers, they can get a credit for that
25 where they won't have to install the 10-percent

1 capable. So, this is a really big advancement on
2 our proposal.

3 Next slide, please.

4 And then, right, I talked a little bit
5 about existing buildings. So this is where
6 existing buildings with new parking facilities or
7 alterations to existing parking could have some
8 triggers for additional electric vehicle charging
9 provisions.

10 Next slide, please.

11 And then we also go into voluntary
12 measures. CalGreen has two tiers, Tier 1 and
13 Tier 2, that allow for enhanced green building.
14 And this is really ratcheting up those
15 requirements from the mandatory provisions, and
16 raising the bar considerably higher for Tier 1
17 and Tier 2.

18 Next slide, please.

19 These are images of some receptacles on
20 the left, and then our portable Level 2 charger
21 on the right. And then at the bottom a Level 2
22 receptacle. So this would be something that
23 could be installed in a box in a parking lot,
24 there would be available for people to use their
25 portable charger or cord set to plug into that

1 receptacle.

2 And then the next slide has a picture of
3 a Level 2 charger. This is something that
4 provides higher power and faster charge for those
5 that have larger batteries, for longer drive
6 times and ranges.

7 And the next slide, please, goes into
8 costs. So there's a range of costs for these,
9 depending on the actual installation, distance
10 from the electrical panel, et cetera. But Level
11 2 chargers, the EVSE range from \$2,300 to 3,700,
12 whereas as the low power receptacle is a lower
13 cost up front, from about \$780 to almost \$1,500.

14 So overall though, the life cycle of the
15 code, three-year code, we're looking at about a
16 \$104- to \$182,000,000 impact statewide for the
17 life of the code. And we anticipate in future
18 code cycles going even further.

19 So that's it for me, and questions at the
20 appropriate time. Thanks, Gabe.

21 MR. TAYLOR: Thank you so much, Kyle.
22 We'll take questions at the end of the panel.

23 Next up I'd like to welcome Abhilasha
24 Wadhwa and Rory Cox, my colleagues from the
25 California Public Utilities Commission. Both are

1 Senior Analysts in the CPUC's Building
2 Decarbonization and Renewable Gas Section.

3 Abhi.

4 MS. WADHWA: Hi, Gabe. Can you hear me?

5 MR. TAYLOR: Yes. Go ahead.

6 MS. WADHWA: Good afternoon. Thank you
7 so much for the opportunity to present today.

8 And good afternoon, Commissioners. It's an honor
9 to be sharing the stage with you.

10 My name is Abhi Wadhwa, and I'm here with
11 my colleague, Rory Cox. We are both Senior
12 Analysts with the Public Utilities Commission in
13 the Building Decarb and Renewable Gas Section.
14 And I'm here today to give a broad brush overview
15 of current building decarbonization activities
16 and their policies at CPUC.

17 I am very notorious for going over time,
18 so I am going to start my timer. And, Gabe,
19 please feel free to shout out if I go over time.
20 I know we are already a little bit over time, so
21 I'm going to try to give as much back as I can.

22 So with that, can we please proceed to
23 the next slide.

24 Okay. So I'm going to do what Mike Sokol
25 did. I'm going to step into the carb GHG

1 inventory report, where I'm looking at a
2 different dissection that they did. So the GHG
3 inventory report, the emissions either by economy
4 sector or by the scoping plan categorization.

5 In this particular one, so I wanted to
6 give that caveat because the folks might be
7 confused why that we say buildings account for
8 12-percent of GHG emissions, while Mike said 25-
9 percent. It's just about whether you are
10 counting electricity generation or not.

11 So, in this case, in this dissection by
12 economic sector we count residential and
13 commercial to basically make up -- they made up
14 mainly building energy use. That comes to about
15 12-percent. Within that, 85-percent of the
16 emissions come from space and water heating.

17 And, therefore, we come to why heat pumps
18 nowadays have become the thing for the woke
19 crowd. Why every woke state is going after heat
20 pumps right now, because they really give us
21 multiple opportunities for emissions reduction.
22 They are 80- to sometimes 100-percent more
23 efficient than gas or electrical counterparts.
24 Electrified space and water heating offer
25 opportunity for load shifting from peak hours,

1 and also gives us the opportunity to signal for
2 low GWP refrigerants. That's a slice not shown
3 in this graphic, but is also quantified by the
4 CARB report, the GHG inventory report, under a
5 different set of categorizations for high GWP
6 gases, which make for about five-percent of the
7 emissions in -- as for that report. And given
8 that actual residential refrigerants makeup about
9 92-percent of -- within the high GWP. So that's
10 why, you know, heat pumps have become such a big
11 deal across programs.

12 We heard in the presentation of the
13 workshop for the 2022 Code from Energy Commission
14 -- when was it yesterday -- last week, that, you
15 know, heat pumps are kind of become the default
16 for new construction. That is very exciting to
17 hear. And we are hoping this time around,
18 because they are a 20-year-old technology, but
19 this time around they're sure to stick.

20 Next slide, please.

21 So with opportunity comes challenges,
22 with challenges come opportunities. They both go
23 hand in hand. So, in this slide I'm going to
24 highlight just two few of the biggest ones.
25 There are many other challenges that I think Mike

1 mentioned in his slides, you know, lack of
2 awareness. Right now technical assistance,
3 education, which Natalie mentioned we're going to
4 be doing in the BUILD Program. CEC is going to
5 be, you know, implementing that in the BUILD
6 Program.

7 But here I want to pull out two that are
8 high on the top of our mind. One is rates, due
9 in large part to the recent wildfires. There's
10 always an upward pressure on electric rates,
11 which are rising faster than natural gas rates.

12 And this kind of creates this very, very
13 challenging dichotomy, like how do we, you know,
14 take electrification, which is really the low
15 hanging fruit of decarbonization, and while also
16 trying to keep an eye on those rising rates. So,
17 again, I'll talk about some opportunities towards
18 the end, but I wanted to flag this as one of our
19 biggest concerns.

20 And retrofits is the other one. It's
21 much more difficult to convert existing homes
22 which already have natural gas appliances to
23 electric heat pumps, which can be more expensive.
24 It can have challenges like panel upgrades. Some
25 of the older homes don't have the panel size

1 required to take on electric heat pumps. So,
2 that's definitely a challenge that's unique to
3 retrofit and not so much in new construction.

4 Next slide, please.

5 So, to kick off things in 2018, Senate
6 Bill 1477 approved two programs. You already
7 heard about one of them from Natalie, which was
8 the BUILD program. CPUC adopted these two
9 programs, BUILD and TECH, as part of Decision 20-
10 030-027. And I'm going to focus more on the TECH
11 Program, since CEC is the implementor for the
12 BUILD Program, and has been covered in Natalie's
13 presentation.

14 Two-hundred-million dollars is the total
15 funding approved, out of which 60-percent we
16 allocated to TECH, and 40-percent to BUILD. And
17 really, we -- you know, even though the statute
18 sets up the two agencies, and CPUC being the
19 oversight, it's really more of a partnership.

20 And there is some money carved aside in
21 the decision for evaluation. So \$5,000,000, a
22 proportional share coming from both programs.
23 And the evaluator is selected by now. It's,
24 Opinion Dynamics is going to be the evaluator,
25 and for TECH, Energy Solutions is the

1 implementer, for those who are tracking this.

2 Next slide, please.

3 So, that was Phase 1 of the
4 Decarbonization proceedings, which are launched
5 or kicked off and gave the bookends to these
6 programs, and now I'm going to talk about Phase 2
7 and where we stand with it. So mainly what we
8 did so far in Phase 2 is we issued a staff
9 proposal last year in August. And it dealt with
10 three issues: incentive layering, wildfire
11 rebuild, and increasing the baseline when
12 electric water heating is chosen.

13 So the first one is incentive layering.
14 This was a pretty significant issue that came out
15 of the first phase when we were setting the stage
16 for the pilot. The issue was, how should all the
17 different programs for -- from all the different
18 proceedings, like the Self-Generation Incentive
19 Program proceeding, there is the energy
20 efficiency proceeding, which had different
21 disparate funding, not just us, they have
22 different goals, and they have all started at
23 different times. They didn't like come to our
24 doorstep at the same time. They're also governed
25 by different statutes, right, but there are

1 reporting requirements which can be different.

2 How do you -- in essence, almost all of
3 them have some component of heat pumps, heat pump
4 water heaters especially in them at point. So
5 how do kind of make them symbiotically interact
6 with each other? Some of these were designed for
7 direct customer reimbursement, which we typically
8 call downstream. Some are for distributor or
9 contractor reimbursement. So how do you make
10 sure that the incentives are distributed in a
11 manner that actually helps within the market, is
12 not causing market confusion?

13 And at the end of the day, you know, the
14 programs are achieving their goals. Like the
15 have a clear idea whether they were able to
16 achieve their goals or not. So that is one issue
17 that's discussed in the staff proposal. If
18 anybody's interested to read that, it will be
19 under this proceeding.

20 The other issue that's addressed in that
21 is wildfire rebuild. So, you know, incentivizing
22 all the homes that were, unfortunately, were
23 impacted or red tagged is the technical term, by
24 any of the wildfires since 2017. And to help
25 them go beyond code and help them go all

1 electric, so that we can minimize the gas
2 infrastructure expansion, and then you'd use this
3 as an opportunity. These are also proposed to be
4 funded through gas IOU cap-and-trade proceeds so
5 far.

6 Finally, the third thing that --
7 proposal, staff proposal addresses is that
8 currently there is no additional baseline amount
9 given if you have electric water heating. So if
10 -- for the customer who choose, who will be the
11 early adopters and choose to replace their gas
12 water heater with electric water heater, that
13 energy use is not currently being calculated in
14 the baseline that is allowed for their home.

15 So the proposal puts forward some, some
16 impacts of that, and asks the IOUs to consider it
17 in the future of general rate case proceedings.
18 And the decision for this is anticipated in 2021.

19 Next slide, please.

20 Okay. I have to go really quickly. I'm
21 so far behind. So, this is a general overview of
22 our TECH Initiative activities. We are looking
23 to move the supply chain, drive consumer demand.
24 We apologize there's a little bit off -- an error
25 on this slide. We'll be resubmitting it for

1 uploading to the docket.

2 The middle box should say create scalable
3 models through regional pilots. Apologies for
4 that. This will be in the docket. I won't have
5 time to go over this.

6 Next slide, please.

7 Beyond this proceeding, there is overall
8 about \$335,000,000 in additional funding to
9 support building electrification. Mentioning
10 some programs here, which you can look up on the
11 CPUC website. As I mentioned, the Self-
12 Generation Incentive Program now has about
13 \$45,000,000 for heat pump water heaters.
14 Similarly, just in PG&E territory there is a
15 Water Saver Program, which is to convert electric
16 resistance water heaters and upgrade them to heat
17 pump water heaters.

18 Next slide, please.

19 The other -- some of the more important
20 programs under CPUC domain right now are the San
21 Joaquin Valley Pilot. This was approved in 2018.
22 About 1,600 homes are eligible for the pilot.
23 This pilot, interestingly, also did approve
24 natural gas line extension, because the community
25 demanded that. So 65 of homes have been taken

1 off of propane use and given natural gas
2 appliances, while 21 were electrified.

3 Finally, then Mobilehome Park proceeding,
4 the main focus on that is to get the mobile home
5 market ready for electrification. So it's mainly
6 looking at electrical service size upgrade.

7 Next slide, please.

8 This is just a little bit of an overview
9 in our energy efficiency portfolio. A little bit
10 old news now, but just bringing you up to speed
11 on what has recently been done on it. The three-
12 prong test was gotten rid of, and replaced with a
13 fuel substitution test that require that a
14 measure not increase source energy and not harm
15 the environment as measured in carbon dioxide
16 emissions.

17 Very quickly, after that our technical
18 guidance was issued and our calculator was
19 released that would allow the IOUs to submit
20 workpapers, calculate the GHG emissions from
21 substituting, for example, natural gas to heat
22 pump water heater. August 2020 was when one of
23 these workpapers was approved.

24 Next slide, please.

25 So as I said, there are some high

1 opportunity areas, low hanging fruit was
2 discussed. It's not all challenges. We
3 definitely see new construction as, you know, an
4 early area of opportunity where new gas
5 infrastructure investments can be curtailed.
6 And, again, you know, our counterparts at CEC are
7 doing a great job, not just with the code, but to
8 BUILD program that's -- in their lap, and looking
9 to electrify new construction as quickly as they
10 can.

11 Updating electrical resistance equipment,
12 again, up to 30-percent of multifamily units, and
13 about five-percent of single family homes have
14 this in the IOU territory. bill savings, my own
15 home I'm sitting in right now is an example. I
16 had an electric resistance water heater, used the
17 Water Saver Program, and I'm seeing at least,
18 just anecdotally speaking, about 40- to \$50 a
19 month in savings with PG&E.

20 Electrifying homes with solar, about
21 seven-percent of California homes are solar. We
22 see this as a huge opportunity. They already
23 have upgraded electrical panels. It's the solar
24 panels -- as more panels can be added to
25 compensate for the added electric loads, that

1 makes the cost of the upgrade much, much lesser
2 than it could be in older homes with older
3 panels.

4 Homes with high AC loads, again, Inland,
5 Central Valley, hot climate homes will see gains,
6 because when the heat pump has been upgraded,
7 then even the air conditioner, the old air
8 conditioner is getting an upgrade.

9 And finally, rural areas that are not
10 currently served by a natural gas utility, most
11 of them, again, in wildfire territory, that rely
12 on propane or are burning wood are great areas to
13 offer high-efficiency electric

14 Next slide, please.

15 These are some of the other proceedings.
16 Again, I won't have time to go through them, but
17 this is our renewable gas proceeding, which
18 basically establishes a standard for -- a
19 standard renewable gas agreement, and approves
20 \$40,000,000 for biomethane monitoring incentives.
21 That's the Phase 3.

22 And Phase 4 of it would be RNG
23 procurement and integration of hydrogen. Those
24 staff reports are anticipated in -- very shortly
25 here.

1 Next slide, please.

2 MR. TAYLOR: Thank you so much, Abhi.
3 That's an incredible amount of information to
4 cram into just a few minutes.

5 MS. WADHWA: Thank you. So sorry I ran
6 over time.

7 MR. TAYLOR: It's quite all right.

8 Next up we have Amy Rider, who is the
9 local government lead for the Building
10 Decarbonization Coalition.

11 Amy?

12 MS. RIDER: Yeah, thanks so much,
13 Gabriel. And thank you to everyone,
14 Commissioners, panelists, and attendees for
15 having me here today.

16 I wanted to come and speak with you from
17 the Building Decarbonization Coalition. Again,
18 I'm Amy Rider, the local government lead there.
19 And if you're not familiar with the BDC, as we
20 call ourselves, the Decarbonization Coalition, we
21 are a membership-based not for profit. And today
22 I'm going to be talking about largely local
23 governments, but if you'll go the next slide, I
24 also want to give you some context as to what
25 we're seeing in the kind of the larger, the

1 larger space.

2 Our members include manufacturers and
3 utilities, nonprofits, as well as local
4 governments. So we definitely try to cover the
5 full swath of potential stakeholders. And so
6 I'll be going through these four major areas, the
7 roadmap, local government's role, opportunities
8 and where they need support.

9 So just in case you're not familiar with
10 Building Decarbonization Coalition's roadmap for
11 California, we do have a document that we
12 published back in 2019, breaking it down really
13 into three primary phases: market readiness,
14 market deployment, and scaling in the market.

15 And as is evidenced by all of the
16 presentations so far, there is a lot of activity
17 that is helping to point the direction for all
18 three of these things, and really move the entire
19 market forward quickly.

20 Next slide.

21 So, for local governments in particular,
22 there are really these primary areas where local
23 governments can have a role in effecting
24 decarbonization. They connect with stakeholders.
25 They are able to be on the ground and talking

1 with folks, and really to ensure that local
2 solutions meet whatever the needs are of those
3 local players. So really ensuring equity that
4 meets their community needs, while also utilizing
5 the space for their buildings, the buildings that
6 local governments control, municipal projects and
7 so forth, to use as examples in the marketplace.

8 And then to innovate and pilot solutions
9 so that we can establish best practices, and to
10 inform the State as to what those practices are,
11 so we can roll them up to state level, and I'll
12 show you some examples of those as we go forward.

13 So those opportunities really break down
14 again into these categories, community and
15 project engagement. So not just talking with the
16 users of the buildings, but those would build
17 them as well, and identifying those communities'
18 specific needs.

19 There's a lot of local government
20 influence when it comes to regional regulatory
21 matters, especially around the air quality and
22 CEQA guidelines for new construction, as well as
23 -- especially as we get more and more incentive
24 programs that are regionally based, some advocacy
25 at that level. Furthermore, we have the

1 municipal policy, which certainly there's
2 leadership, as I mentioned on public buildings
3 and more and more in the microgrid space. There
4 are exciting opportunities that municipalities
5 are looking forward to enhance their own
6 resilience.

7 And then we see some potential both
8 carrots and sticks for municipal policy. Some
9 cities and counties are able to have incentive
10 programs or impose fees to change the direction
11 of new construction in particular, but also,
12 potentially, existing buildings in their areas of
13 influence.

14 And then, lastly, one of my favorite
15 topics are the local building codes, both the
16 energy related Reach Codes and the Health and
17 Safety Codes.

18 So if you'll go to the next one. Great.

19 So just to kind of zoom out slightly from
20 those areas where local governments are really
21 already setting precedent. We've heard already
22 today about how many Reach Codes in particular
23 have been adopted around the State, and certainly
24 many more activities are happening at the local
25 government level. But those cities and counties

1 need help there -- and there's lots of
2 opportunity for doing so.

3 Most importantly I would say, it's clear
4 direction. So, directionality and scale, the
5 ability to make this a bigger -- bigger solutions
6 faster, regulatory support, of course, municipal
7 practices and policies, which I'll get into in
8 more depth, and those building codes as well.

9 So when it comes to directionality, I
10 really can't overstate this enough, clear, time-
11 bound expectations from the State are the key for
12 making sure that everybody has certainty in the
13 marketplace, and by which I mean everybody, I do
14 mean everyone. Manufacturers love this, local
15 planning departments love this, and developers
16 and builders do, also. So that's just a really
17 important point.

18 Furthermore, continuing to drive
19 education in the marketplace. One of the biggest
20 hurdles that we identified a couple years ago,
21 and it's getting better, but there's still a gap
22 in education and awareness in the marketplace.

23 And then lastly, really the ability to
24 provide some mechanisms for -- not just
25 incentives, although those are coming and they're

1 fantastic, but then financing opportunities that
2 get at some of those hard-to-reach markets.

3 Regulatory support is another area, and
4 as we've heard today, there's lots of movement in
5 the regulatory space, but I just want to point
6 out a couple that are very critical to make sure
7 that they're aligned with our decarbonization
8 efforts.

9 Rate reform, affordable rate reform to
10 allow for electrification on a large scale is a
11 really critical component. And as I already
12 mentioned, funding for affordable housing and
13 standards that are aligned with decarbonization.
14 We talked a lot about incentive programs, but the
15 need has not gone away yet, so continue to
16 support those. And then of course technical
17 assistance, which was also mentioned.

18 Actually if you'll go back one. Thank
19 you.

20 I just want to point out here there are a
21 couple places where regulatory support would also
22 be helpful, specifically really recognizing
23 electric appliances as distributed energy
24 resources that can be grid integrated is one
25 place similar to the vehicle-to-grid comment from

1 earlier. Wouldn't it be great if we also have
2 grid-integrated everything, whether we're talking
3 about our refrigerators or our washing machines
4 or all of the technology in our buildings.

5 And then the need for clarified authority
6 around unregulated appliances, because there are
7 still a few appliances that it's not clear how we
8 decarbonize, simply because it's not clear who
9 regulates them, would be helpful.

10 And then related to municipal policy and
11 practices, I think the most important point here
12 is really leveraging the opportunity for the
13 State to have bulk purchasing or procurement
14 agreements that allow for municipalities to
15 decrease their costs when electrifying. To be
16 able to negotiate government contracts through
17 leveraged procurement agreements would be
18 enormously helpful to local governments across
19 the State.

20 And then of course providing some
21 centralized information, and having a resource
22 that shares not just best practices, but also the
23 actual, the data behind them. How many panel
24 upgrades are in fact needed, and where are they?
25 And permitting data as these projects are taking

1 place, so that we can inform the contractors and
2 we can inform the utilities alike.

3 And then lastly, building codes just
4 continue to be such an important part of this
5 equation. As was already discussed, the Reach
6 Codes for local governments continue to be a
7 really interesting mechanism that more than 40
8 cities and counties have already adopted around
9 the State. And moving those from the Reach Code
10 level where there -- those individual
11 jurisdictions to a statewide effort, as well as
12 looking at not just carbon emissions, but other,
13 you know, greenhouse gas as well as health
14 considerations when we look at codes and
15 appliance standards.

16 All of those are needed from the State,
17 as well as the local governments, and continuing
18 to give local governments opportunities for new
19 Reach Codes under the new code cycle as well.

20 So, again, that really just summarizes
21 as, in order to scale quickly, we need direction,
22 we need regulation, municipal practices that are
23 supported, and codes and standards to make it all
24 happen. Thank you for your time.

25 MR. TAYLOR: Thank you so much, Amy. We

1 really appreciate the time you put into your
2 clear message.

3 Next up I'd like to welcome Rachel Huang,
4 the Director of Energy Strategy, Research and
5 Development at the Sacramento Municipal Utility
6 District.

7 Rachel.

8 MS. HUANG: Thank you, Gabriel.

9 Good afternoon, and thank you,
10 Commissioners, panelists and participants for
11 having me today.

12 You know, we at SMUD definitely share the
13 Energy Commission's perspective that
14 decarbonizing buildings is an essential part of
15 meeting carbon goals, and we do believe that
16 utilities play a key role in helping to make it
17 happen for the benefit of our customers and our
18 community.

19 Today I'll be talking to you about how
20 accelerating building electrification is a key
21 part of SMUD's strategy. How we think about
22 electrification in our newly adopted 2030 Zero
23 Carbon Plan. How we've progressed against our
24 electrification goals, including bringing
25 everyone along. And finally speak about a couple

1 areas of challenges we see in order to get to
2 100-percent electrification by 2045.

3 Next slide, please.

4 So just about a month ago SMUD's Board of
5 Directors adopted our 2030 Zero Carbon Plan,
6 which is to achieve 100-percent zero carbon
7 emissions from our power supply by 2030, the most
8 aggressive goal of any large utility in the
9 nation.

10 We intend to achieve this zero carbon
11 while maintaining world-class reliability and our
12 electricity rates within the rate of inflation.
13 There's multiple pillars that make up the plan,
14 and given the aggressive goal the plan is a
15 flexible pathway.

16 The first place we're going to start is
17 to repurpose our natural gas generation,
18 including retiring two of our peaker plants, as
19 well as converting our other plants to carbon-
20 free fuels. We'll be adding a variety of
21 renewable resources, both baseload and
22 intermittent, utility scale and customer-sited.

23 The major expansion of renewables over
24 the next 10 years, along with batteries to
25 support them, is going to be a critical and key

1 component of this plan, especially since
2 renewables are some of the most cost-effective
3 proven resources to reduce carbon now.

4 We think that we can get about 90-percent
5 of the way there with proven clean technologies,
6 but we'll need to depend upon new technologies
7 and business models to get us all the way there.
8 That includes leveraging distributed energy
9 resources, as well as researching game-changing
10 technologies like carbon capture and long-
11 duration storage.

12 We want to engage our customers in
13 working towards zero carbon, and we'll work to
14 partner and co-invest with them. We'll continue
15 to invest in energy efficiency and our strong
16 commitment to electrification, where we expect to
17 exceed the statewide goal of doubling energy
18 efficiency in the process.

19 We'll be looking to leverage load
20 flexibility, including investments in virtual
21 power plants, as well as vehicle-to-grid. So to
22 speak to Commissioner Monahan's comment. To help
23 us retire those peaker plants, and could
24 potentially help us to reduce other utility scale
25 investments as well, depending upon the cost and

1 availability of these customer-based resources.

2 Finally, it's imperative to us that we
3 execute upon this plan in a way that maximizes
4 benefits to our community, where we design
5 offerings that are aligned toward just different
6 customer segment needs, that we support the
7 underserved, and we attract investment within our
8 community and creation of jobs to enable the
9 economic vitality in our region.

10 So as we work towards building
11 decarbonization, we really need to think about
12 all the pillars in our plan.

13 Next slide, please.

14 So as much as -- you know, I feel like
15 I've been talking lately about our Zero Carbon
16 Plan at SMUD, our building electrification
17 journey actually started before the Zero Carbon
18 Plan. With our 2018 Integrated Resources Plan,
19 SMUD committed to helping drive building and
20 transportation electrification to support
21 decarbonization within our community.
22 Recognizing the role of buildings and
23 transportation as the low hanging fruit, as well
24 as the opportunity to reduce emissions and
25 improve air quality within our region.

1 With this commitment SMUD launched
2 several market-leading incentive programs, first
3 starting with residential in 2018, and expanding
4 to commercial in 2020, and now we have program
5 offerings in all sectors.

6 From our framework perspective, we move
7 from a gigawatt-hour metric to a carbon-based
8 goal, recognizing that as our grid got cleaner,
9 we would need to think differently about our
10 efficiency and electrification portfolio of
11 programs. With these steps we're now at over
12 2,500 equivalent electric home conversions today.

13 As we look towards the next phase of our
14 efforts, from now until we reach our goal of zero
15 carbon emissions by 2030, we believe that it's
16 important to have all electric codes for new
17 construction. At the same time we need to make
18 it easy for our customers to adopt these
19 electrification technologies.

20 As such, we're working on full-service
21 and turn-key programs, like a heat pump water
22 heater program that can get a changeout done in
23 24 hours, knowing that people need hot water if
24 they have a problem. We'll be developing
25 financial options and incentivizing

1 infrastructure, including panel upgrades, for
2 customers to make the switch. So by 2030 we'd
3 like to have about 34-percent of all buildings to
4 be electric in our territory.

5 We'll be working to support the path to
6 have all new appliance and vehicle sales be
7 electric by 2030. And by 2040 we're working to
8 having 78-percent of all buildings being all
9 electric, and partnering with others to
10 accelerate the full electrification of our low-
11 income customers. By 2030 we expect our zero --
12 we expect our power supply to be zero carbon. So
13 the carbon reduction post-2030 to go electric
14 will be substantial.

15 This is going to be a substantial
16 investment for SMUD, and we know that we can't do
17 it alone. We'll be working with partners and
18 industry stakeholders, including the CEC, to make
19 this happen, while keeping our rates reasonable
20 for our customers.

21 Next slide, please.

22 I want to spend a minute to talk about
23 SMUD's conversion to a carbon metric. Over the
24 years SMUD has evolved the factors it considers
25 relative to its goals for energy efficiency. In

1 previous years we started moving towards looking
2 at load shape impacts of each program within our
3 efficiency portfolio. And most recently in
4 January of 2020, we moved from a gigawatt-hour
5 metric to a carbon-based metric.

6 The driver of this was simple. As we
7 looked towards the future, we knew that the time
8 of day and season would start to have more impact
9 on when the best times would be for equipment to
10 be most efficient in order to reduce our carbon
11 emissions, as well as times when there would be
12 actually an excess of renewables, where we might
13 actually want to use more electricity.

14 So with this change to a carbon metric
15 we've incorporated consideration into the design
16 of our program incentives, the choice of
17 technologies that we choose to incentivize, as
18 well as considering our rate designs to ensure
19 success for our portfolio programs to minimize
20 carbon emissions. This change now enables us to
21 best align our program portfolio planning with
22 our resource planning, and now our 2030 zero
23 carbon goal.

24 Next slide, please.

25 I mentioned we started our efforts back

1 in 2018 actually, so how are we doing? We've
2 made steady progress, and in each year we've
3 actually been able to achieve or exceed our
4 program goals.

5 Even last year with COVID, while we did
6 see an initial dip in participation, we
7 eventually saw interest in customers making
8 improvements to their homes and actually caught
9 up by the end of the year. We're also starting
10 to see engagement from stakeholders in the supply
11 chain.

12 One vendor actually took SMUD's generous
13 heat pump water heater rebate and started
14 advertising that if you switch from a gas to an
15 electric heat pump water heater, you could do so
16 for only \$99, and that really enabled our program
17 to take off.

18 We've revamped our residential new
19 construction program to offer all electric and
20 electric ready, and we now have 44 residential
21 builders and developers participating in our
22 Smart Homes construction program, equaling 58
23 developments, and have had -- and have 482 new
24 construction units completed to date, the large
25 majority of which are single family, but include

1 multifamily units as well. We also have several
2 affordable multifamily housing communities that
3 are going electric in our program pipeline.

4 What you can see here in the chart, which
5 is actually percentage of single family home
6 conversions, is that we've both set goals and
7 made progress to actually electrify our low-
8 income customers on a more rapid pace than our
9 mass-market residential customers.

10 Next slide, please.

11 We truly believe that it's important to
12 leave no one behind as we pursue the goal of zero
13 carbon emissions, and as such have set a goal to
14 electrify 100-percent of our low-income customers
15 ahead of the residential mass market. We believe
16 that they're the ones who are going to end up
17 being most susceptible to stranded asset costs in
18 the transition, and as such are accelerating our
19 efforts to electrify them.

20 We started our Low-Income Electrification
21 Program in 2019, and have worked to transition
22 our low-income offerings that originally were
23 focused primarily on energy efficiency, to
24 promote building electrification as well.

25 The approach that we've taken with the

1 low-income programs is to actually electrify
2 every end use, even if it's early retirement, to
3 make it easy for the customer, and recognizing
4 that there's that opportunity we have when we're
5 working with a low-income customer and we're in
6 their home.

7 Through out efforts we've actually
8 electrified over 1,000 gas end uses to date. And
9 as we move forward, we'll be offering incentive
10 adders for low-income multifamily
11 electrification, as well as working to find
12 partners to find innovative and cost-effective
13 ways to ensure equity in our electrification
14 efforts.

15 Next slide, please.

16 So as we look forward, in order to
17 achieve our aggressive goals we know we need to
18 do a number of things, but one of the biggest
19 challenges we see to -- is actually transitioning
20 existing buildings to electric. And we believe
21 that this will take both customer and regulatory
22 approaches.

23 You know, Amy talked a little bit about
24 this before me, but on the customer front,
25 awareness and education continue to be key in

1 order to engage both the customers and the
2 contractors, and all the vendors throughout the
3 supply chain.

4 Customers aren't necessarily clamoring
5 for electric technologies yet, although in SMUD
6 territory there's actually already benefits of
7 reduced total energy bills and improved air
8 quality for the very large majority of the
9 residential customers.

10 People still do struggle with giving up
11 their gas cooktops, heat pump water heaters need
12 to be available, quote-unquote, "on the truck" to
13 get that 24-hour turnaround time, and the
14 contractors need to be able to install it, so
15 that when the customer water heater breaks they
16 don't have to wait to replace if they want to go
17 all electric.

18 I've talked about our plans in place for
19 low-income customers, but there's a large -- and
20 there's a large focus on equity in SMUD's
21 efforts. But there's also the moderate-income
22 customer segment, that may still struggle to make
23 the capital investments needed to make the
24 transition. And we believe that providing
25 options, including things like financing, we'll

1 be able to help make that transition.

2 Finally, as we look towards decarbonizing
3 our grid, we recognize that we need to keep
4 electricity rates low. And so we've got this
5 increased pressure of costs as we decarbonize,
6 but we need to make sure we think about the rate
7 design as well as the overall electricity rates
8 to continue to provide those benefits for our
9 customers.

10 Finally, as there's consideration of
11 electrification of existing buildings and code,
12 code enforcement will need to be -- will be
13 needed to ensure that that transition is made.
14 And we know that that's not exactly popular.

15 We're actually pretty good about code
16 compliance in Sacramento, but it's because we
17 have a lot of incentives throughout our programs
18 and required as a condition of our incentives.
19 So as the State works to decarbonize buildings,
20 that's going to be a consideration to support the
21 transition. And with that, thank you.

22 MR. TAYLOR: Thank you so much, Rachel.
23 We really appreciate all the hard work.

24 Next up I'd like to welcome David Jacot,
25 the Director of Efficiency Solutions at the Los

1 Angeles Department of Water and Power.

2 David?

3 MR. JACOT: Great. Thank you, Gabriel.

4 Thank you, Commissioners and advisors, and
5 everyone else who's attending, and also the hard
6 work that went into pulling together these
7 workshops. I know that's not easy. Rachel's a
8 tough act to follow. SMUD's doing some great
9 stuff up there.

10 We just recently completed our LA100
11 Study for how to fully decarbonize our grid, and
12 we're -- we ran a number of scenarios, and the
13 one that the mayor has adopted has us planning to
14 be 100-percent carbon free by 2035. So, we're
15 going to be watching very closely SMUD's progress
16 and how -- to see if there's opportunities for us
17 to even accelerate our pace beyond the 2035
18 target we've currently set.

19 I want to talk a bit about the greenhouse
20 gas inventory in California. We've seen two
21 presentations of it, and I appreciate that those
22 came up. I don't have any -- my slides didn't
23 make it in in time, so I'm working off them on my
24 computer, but that was one of my slides. And it
25 was the second one, the one presented by the CEC

1 CPUC presenter. That's the one I like to speak
2 to, because the first one that lumps electricity
3 in with onsite natural gas uses in buildings, is
4 a little bit misleading in terms of how much
5 carbon, greenhouse gas is due to buildings when
6 you look -- when you take the electricity portion
7 out of it. Twenty-five-percent, yes, but when
8 you pull the electricity out of it, then it's 12-
9 percent.

10 And I think that's important because
11 there's two pathways to decarbonizing buildings.
12 One is decarbonize the electricity supply, and
13 the other is to decarbonize the onsite natural
14 gas use. And those are so different from each
15 other that it warrants separating them. And we -
16 - the LA100 Study, SMUD's aggressive move to
17 decarbonize fully by 2030, those are things, you
18 know, the utilities are doing at a utility scale,
19 with distributed energy resources of course. But
20 that's different from what it takes to motivate
21 building owners and occupants to work on the
22 other 12-percent of onsite natural gas use. So I
23 think that's important from a programmatic
24 standpoint, to differentiate those two.

25 So, I want to talk -- I'm going to zoom

1 in pretty closely on one specific area of where
2 we're focused on for building decarbonization,
3 our first major foray into that space,
4 programmatically. SMUD covered the portfolio
5 approach excellently, and I'll zoom in a little
6 bit more on the low-income multifamily sector.

7 A few words first on the importance of
8 energy efficiency to decarbonization. And the
9 greenhouse gas inventory really kind of points
10 this out when we see 41-percent is from the
11 transportation sector. Obviously we're working
12 to decarbonize that as well.

13 We see tremendous load growth from
14 electrification of transportation and to a lesser
15 extent from the electrification of buildings. We
16 are estimating through our LA100 Study that we
17 will essentially double our retail kilowatt hours
18 with the onset of mass electrification, and
19 that's between transportation and buildings. And
20 that's important. I know right now there's a
21 time-of-use issue with energy efficiency is
22 occurring at the wrong time. I hear this from my
23 power system folks all the time. Don't give me
24 energy efficiency at 4:00 p.m. I've got all this
25 solar, having to run to ground or, you know, give

1 away. And LADWP's position on that is that
2 that's a temporary, that's a temporary problem.

3 We have so much load coming from energy
4 efficient -- from electrification that we're
5 going to need, we're going to need energy
6 efficiency in tandem with storage to smooth out
7 those peaks and valleys in terms of the renewable
8 oversupply during peak times, and of course the
9 not undersupply, zero supply at night and off
10 peak.

11 So energy efficiency coupled with utility
12 scale storage, whether that -- and I say utility
13 scale storage, it can be distributed and still be
14 utility scale in the aggregate, and we see both
15 happening. But energy efficiency covered with --
16 coupled with utility scale storage is key to
17 making a decarbonized grid that essentially is
18 delivering twice as much kilowatt hours in the
19 future as it does today.

20 So you have that overgeneration in the
21 afternoon, rather than, you know, just burning
22 it, giving it away, you want to store it. And
23 then at night that storage is going to power
24 things, but the energy efficiency will help
25 reduce the amount of storage. So it's a win-win

1 tandem, both at peak times and discharge times.
2 The afternoon overgeneration gets more -- is left
3 for storage when you have the energy efficiency
4 during the day. And then having energy efficient
5 overnight uses means that overall storage can be
6 smaller than otherwise it has to be.

7 So, to that end, we're working on
8 addressing our vast low-income needs, that why I
9 say this is the first place we're getting
10 started, programmatically. We have about 400,000
11 affordable housing units in the City of Los
12 Angeles. That's out of 1.4 billion -- 1.4
13 million households, so almost a third. Almost a
14 third is affordable housing.

15 And so we are very close to launching, we
16 plan to launch in July, a program that's based on
17 California's low-income weatherization program,
18 but we've made some significant tweaks to it to
19 meet specific L.A. needs. And we're calling it
20 the Comprehensive Affordable Multifamily Retrofit
21 Program, or CAMA -- CAMR for short. But it's
22 focused on deep decarbonization of low-income
23 multifamily buildings through retrofits for
24 energy efficiency, building electrification, and
25 onsite solar.

1 So this is kind of a three-legged stool
2 program. And the idea behind it was
3 multifaceted, as you'll see as I get into it.
4 But deep energy efficiency, building
5 electrification, onsite solar. This is focused
6 on getting the economics of these projects to
7 work for our customers.

8 I know that other utilities have -- may
9 have different rate structures, and certainly
10 different climates -- climate specifics,
11 characteristics, but for us we do have a
12 challenge of building electrification by itself,
13 raising customer's bills between pre- and post-
14 electrification coming off of natural gas.

15 And so the beauty of this program, by
16 marrying these three approaches, energy
17 efficiency drives the bill down, building
18 electrification drives the bill up, specific to
19 our service territory, and then onsite solar
20 photovoltaic brings the bill back down. And at
21 the very least, we want to say bill neutral, but
22 obviously we want to be -- resulting in
23 significant overall utility cost savings for our
24 low-income tenants, and also the affordable
25 housing property owners and managers, that's key.

1 And a third piece -- and that's the
2 equity piece. You know, this is California.
3 This is L.A. Equity is a huge topic right now,
4 especially coming out soon hopefully the COVID
5 impacts. And so, that's why we're starting our
6 electrification with low-income multifamily,
7 which has traditionally been the hardest, one of
8 the hardest sectors to reach for a variety of
9 reasons. And so that's where we want to start.
10 We want to start there. If we can do it there,
11 we can do it anywhere.

12 And then another -- the other leg of the
13 stool is developing skilled family-supporting
14 green jobs for the local workforce. So one of
15 the things we've added into the program that's
16 unique to L.A. is that we will be requiring the
17 customers to hire contractors who pay prevailing
18 wage. And for certain sized buildings on up, use
19 skilled and trained labor that -- as specified by
20 the agreement that the trades have with the State
21 of California. Now that sounds like a barrier,
22 and so to address it our incentive rates, which
23 are based on GHG reduction on a CO2 equivalent
24 avoided, will be significantly higher than the
25 statewide rates typically have been. So we are

1 adding quite a bit more money to support that.

2 We're also including an incentive to
3 upgrade the electrical infrastructure and/or the
4 utility service as needed to support building
5 electrification. And we're doing that at the
6 rate of \$750 per unit, which is, again,
7 recognizing that employing -- mandating the
8 employment of skilled labor will have some cost
9 impacts to the customer that we're looking to
10 offset through higher incentive rates.

11 So, one thing I wanted to focus on in
12 terms of scalability here, just to kind of paint
13 the picture of the need. You always want to
14 think about, okay, we're trying to get to 100-
15 percent, right. You know, well, what are you
16 doing?

17 I really appreciated Rachel's slide with
18 the bar graph getting into good, high percentages
19 of penetration in the market, 10, 12, 15-percent.
20 We want to get to 100-percent. What does that
21 look like?

22 So, like I mentioned, we've got about
23 400,000 affordable housing units in Los Angeles.
24 And the program we are getting ready to launch
25 this summer, hopefully in July, is budgeted at

1 \$75,000,000 in incentives across five years.

2 What do we get for that \$75,000,000 in
3 incentives? We're estimating about 12,500 units.
4 So, 12,500 served. When you ratio that up to
5 400,000 units, that's \$2.4 billion of incentives
6 that would be roughly needed. That's on top of a
7 customer contribution. This is not a direct-
8 install program. This is a rebate program, a
9 heavily subsidized rebate program, but a rebate
10 program, nonetheless.

11 We anticipate that the customers will
12 contribute probably between 30- and 50-percent of
13 the project cost. And our model design, which
14 follows LIWP, Low-Income Weatherization, has
15 built in assistance to help customers find those
16 funding sources, whether it's resynchronization
17 that affordable housing managers do every few
18 years, it's essentially a refi. We'd consider it
19 a refi, and pull cash out for infrastructure type
20 enhancements -- investments, or grants, or they
21 have cash on hand perhaps, those types of things.

22 But the model's been successful as LIWP,
23 so Low-Income Weatherization Program. We wanted
24 to bring it into L.A. Make it specific to L.A.'s
25 needs with an enhanced focus of equity and

1 skilled job creation. Level playing field as the
2 unions say. The contractors don't have to be
3 union, but they have to pay union, and have the
4 same quality requirements in terms of skills and
5 training. So we're supporting that as well.

6 And let's see if I wanted -- had anything
7 else that I wanted to cover. I think that's
8 really about it. I know we're low on time, so I
9 don't want to overextend us any further. But I
10 really do appreciate the opportunity to speak and
11 present what L.A.'s working on here.

12 This will be the first of our major
13 electrification initiatives beyond what we're
14 already doing with transportation and chargers.
15 But this is, this is our first major foray into
16 buildings. And we wanted to start with an
17 opportunity to be as comprehensive as possible,
18 and then take the lessons learned from that and
19 apply them in other sectors. Thank you.

20 MR. TAYLOR: Thank you so much, David.
21 Really appreciate it.

22 Now I'd like to welcome all five
23 panelists back to the virtual stage for a
24 conversation with the Commissioners. If the
25 panelists could turn their cameras on, and I

1 welcome the Commissioners back for questions.

2 COMMISSIONER MCALLISTER: Thanks to all
3 of you. I'll say just by way of really brief
4 commentary, and then I'll pass it to my
5 colleagues on the dais for their questions first.

6 But just really great to see this
7 progress. I mean, kudos to all of you, in
8 particular SMUD, DWP, you know the rubber's
9 really hitting the road and you're showing how it
10 can be done, beginning to scale -- more than
11 beginning to scale, really.

12 And it's great to see just the real numbers,
13 including the dollars, you know, realistic ground
14 truthed number for the, you know, many billions
15 of dollars if we scale that across the State,
16 that it's going to take to really get to our
17 affordable housing community. And I think
18 probably all of us today agree that that's top of
19 the list in terms of priorities for attacking our
20 existing building stock with decarbonization.

21 So, with that, just thanks to all of you.
22 Really thought-provoking and with so much going
23 on, it's heartening actually.

24 So, I'll open it up to my colleagues.
25 Commissioner Monahan, Gunda, Rechtschaffen. I

1 don't know if anybody else was joined.

2 COMMISSIONER MONAHAN: Well, I have a
3 question. Thanks everybody. So this is really
4 informative. And my question is to Rachel around
5 SMUD's investment. You said there were 2,500-
6 plus electric home conversions. And I'm curious
7 about this question around low-income families
8 that David highlighted, too, that their focus is
9 going to be really laser -- laser focused on low-
10 income, which is the hardest.

11 Did you - of the twenty-five hundred,
12 were there any like specifically targeted to low-
13 income families?

14 MS. HUANG: Yeah. So, we have -- and I
15 don't know exactly what the equivalent homes is,
16 but we have electrified through our low-income
17 programs over 1,000 gas-to-electric end uses.
18 So, I don't know exactly how many that is in
19 terms of customers, because we didn't necessarily
20 do all electric for all of them. But we've --
21 since we've started our low-income program, we've
22 electrified over 1,000 end uses.

23 I really commend David for approaching
24 multifamily first, because that is the most
25 challenging. And to be -- you know, we actually

1 started with single family low-income first, and
2 are then moving into, how do we serve
3 multifamily. We do have offerings as it relates
4 to incentives for new construction affordable
5 housing, and we do have a number of projects in
6 our service territory in the pipeline.

7 They haven't been built yet. I think
8 many of them are starting to come on-line in
9 2022. So we do have a number of new construction
10 multifamily affordable housing coming on-line.
11 But we started focusing on single-family low-
12 income first, but we are going to need to move
13 into multifamily, thus, looking at incentive
14 adders as it relates to multifamily low-income,
15 but it's a challenge.

16 So, to the point of the cost, to
17 electrify an all -- basically, to fully electrify
18 a low-income single-family home is on the order
19 of magnitude of \$11,000. We know that that's not
20 financially sustainable to get everybody
21 electrified. So we need to -- and that's the
22 partnership, right, how do we work with
23 stakeholders? How do we look -- how do we think
24 about innovative models? How do we look at
25 financing options, such as, you know, things like

1 Pay-as-You-Save, and things like that?

2 We know that we need innovation in that
3 space to really be able to electrify in a way
4 that's cost-effective, and right now it is very
5 expensive to fully electrify low-income single
6 family.

7 COMMISSIONER MONAHAN: Yeah, that's
8 actually -- that was going to be my question
9 about the cost, so there you go. Eleven thousand
10 for the average household or did you say for the
11 average --

12 MS. HUANG: For the low-income to
13 electrify --

14 COMMISSIONER MONAHAN: -- low-income
15 household?

16 MS. HUANG: -- to convert. To fully
17 convert gas to full electric, low-income for the,
18 you know, the hundreds of homes that we've done,
19 it's -- if you do all of the end uses it's
20 \$11,000.

21 COMMISSIONER MONAHAN: And can you give
22 me a sense of just the scale of the different
23 solution sets in terms of cost from your
24 experience?

25 MS. HUANG: In terms of, you know, by

1 technology or?

2 COMMISSIONER MONAHAN: Yeah. You've --
3 in terms of -- so, heating, cooling, kitchen,
4 cooking.

5 MS. HUANG: Yeah. So the large majority
6 is the heating and cooling, and then it's the
7 water heating. And, you know, from a greenhouse
8 gas reduction standpoint, the -- we're getting
9 the most greenhouse gas reductions through
10 electrifying the heating and the cooling and the
11 water heating.

12 The induction cooking or the gas-to-
13 induction cooking, one, that's a barrier from a
14 customer adoption standpoint, but it's also a
15 challenge as it relates to -- it's just not as
16 cost-effective.

17 So heating's about \$9,500, so maybe this
18 is a little bit more than 11,000, but it's -- you
19 know, heating is about 9,500. Heat pump, water
20 heaters is about 2,200, and induction cooking is
21 about 1,700.

22 So that does add up to more than 11,000 I
23 think, but that's sort of ballpark of sort of the
24 magnitudes of what -- the large majority is
25 heating and cooling. Then you've got water

1 heating, and then you've got, then you've got the
2 cooking piece, so.

3 COMMISSIONER MONAHAN: Thank you.

4 COMMISSIONER MCALLISTER: Commissioner
5 Gunda have a question as well?

6 COMMISSIONER GUNDA: Yes. Thank you,
7 Commissioner McAllister. Thank you to all the
8 panelists. That was excellent presentations and
9 I just want to thank by name, Kyle, Sarah, Abhi,
10 Amy, Rachel and David, thank you so much for each
11 of your presentations.

12 I kind of have a couple of questions. I
13 think maybe Rachel and David can start, and maybe
14 others can chime in. I think I'm just going to -
15 - thinking through the carbon metric that you
16 talked about, Rachel, as we move forward as an
17 integrated way of planning for both efficiency
18 and electrification. I wanted to get your
19 thoughts on kind of how the -- how do you see the
20 evolution of the grid, right? I mean, like so --
21 and I see you smiling there.

22 So, there's so many moving pieces here,
23 right? I mean, like we have the electrification
24 of the end uses are not really clear yet, what we
25 know kind of. We don't how the behind-the-meter

1 storage of the distribution resources are going
2 to be coming in. And more broadly, what the
3 clean, firm power options are going to be, right?

4 So looking at all of that, if you want to
5 expand a little bit on your thinking on how do
6 you see these incentives, especially as you think
7 about seasonality, you know, like for -- I mean,
8 different end users, you have, you know,
9 seasonality in the same ones, right, I mean, same
10 end users.

11 How do you apportion those incentives and
12 how do you ultimately incentivize to get us to
13 this clean future in kind of that -- in a
14 comprehensive way that this metric -- and maybe,
15 David, you could chime in too, because you kind
16 of commented on kind of this, you know, this
17 interim stage or transition stage.

18 MS. HUANG: Sure. I'll take -- you know,
19 one thing I know that there was a lot of
20 discussion by CEC staff about the role of load
21 flexibility and how important load flexibility is
22 going to be playing a role in the
23 decarbonization.

24 And as I think about our Zero
25 Carbon Plan and the role of an opportunity to

1 partner with customers to help support that, I
2 think that's going to be a big part of it, right?
3 Load flexibility -- you know, the CEC has the
4 load management standards proceeding going on as
5 it relates to dynamic pricing.

6 So, to the point of incentives, you know,
7 that's also a transition for customers, right,
8 is, you know, traditionally energy efficiency
9 programs have been, you get an incentive for
10 buying an efficient light bulb, and efficient
11 HVAC system, an efficient, you know,
12 refrigerator, an efficient, you know, whatever.
13 And then they were just more efficient. And then
14 their -- you know, their bills went accordingly.

15 And so now what we're really asking
16 customers to do is to be partners with us. And
17 this goes to, you know, how do we set up for
18 incentives to help reduce that upfront capital
19 investment that customers need to make, but
20 what's the ongoing payment that they get, whether
21 it's through rate design, or rate design coupled
22 with, you know, capacity payments and things like
23 that, to really get them to think about how they
24 can change their behavior if it's a value to
25 them. So that payment has to be enough.

1 So, I mean, your point about there's so
2 many moving parts. It is very -- it can kind of
3 make my head spin sometimes. So there are
4 definitely a lot of moving parts.

5 And so that's really why over the next
6 three years, when I was talking about our Zero
7 Carbon Plan kind of our trajectory is, is that
8 based upon contracts and sort of utilization of
9 some of our peaker plants, we're going to start
10 looking at, okay, probably in that 2024 or 2025
11 timeframe that we could start potentially
12 retiring some of our -- first of our peaker
13 plants.

14 But in order to do so, we're going to
15 have to learn, you know, how cost-effective are
16 these customer-based resources? How much do we
17 need to pay them to reliably respond? You know,
18 how much are technology costs going to come down
19 as it relates to, you know, battery storage or
20 any of these different technologies, because they
21 might still be expensive.

22 How do we think about IT systems and
23 cybersecurity, and what we have to pay the
24 aggregators or IT systems to make this all work
25 and orchestrate in a way that is cost-effective

1 for the utility, but enough value for customers
2 to change their behavior, or have technologies
3 that make it easy for customers to change their
4 behavior.

5 So, there's a lot of moving parts, but I
6 think that that's where it's no longer the, I pay
7 you an upfront incentive to buy an equipment, and
8 then it happens to be efficient and you save on
9 your bill.

10 It's really becoming more of what's that
11 ongoing relationship that customers have to have
12 with the utility. Where we have shared value in
13 there for the utility, we'll provide that value
14 to customers through different sources of
15 payments, not necessarily just upfront, but
16 ongoing payments or through rate signals, to be
17 able to really utilize these resources in a way
18 that we hope that will play out.

19 COMMISSIONER GUNDA: So, David, before
20 you jump in, Rachel, thank you so much for that,
21 kind of putting that together. Just wanted to
22 ask a kind of clarifying question that I meant to
23 ask you earlier. Is as you were thinking through
24 this kind of like a universal metric, right, I
25 mean, like thinking through how do we set this up

1 in a way we could do an integrated planning. Has
2 SMUD considered indoor air quality issues? And
3 if yes, did it make it, not make it, why? If you
4 could just add to that it would be great.

5 MS. HUANG: So indoor air quality is
6 definitely a consideration for us. You know,
7 when we were looking at our 2018 Integrated
8 Resources Plan, that's really when we said, hey,
9 we really think both building and transportation
10 electrification is important. It's important
11 from a greenhouse gas reduction standpoint, but
12 we don't get to count that towards our own
13 footprint, right. We're the electric utility.
14 We're -- you know, that's our carbon -- that's
15 our power supply.

16 But, you know, being a municipal utility,
17 wanting -- you know, being in an air attainment
18 district having -- you know, I think we're like
19 the sixth worst like air quality, and we've
20 gotten like an F on, you know, scorecards about
21 our air quality, is that indoor air quality is
22 important. And we know that being able to switch
23 those gas-fired end uses in the home, like
24 cooking, like water heating, right, can provide
25 some benefit of indoor air quality to our

1 customers.

2 In terms of factoring it into the actual
3 cost of value, we haven't pinpointed exactly what
4 the value is, but we do believe that it provides
5 value, and therefore, have been willing to really
6 lead with market-leading incentives. Making
7 those first incentives really rich to get the
8 market going for the end goal of, one, helping to
9 start transforming the market, but also
10 recognizing that that has huge value to our
11 customers and our community.

12 MR. JACOT: Yeah, those considerations
13 apply to us as well. I think our approach is
14 slightly different based on the fact that our
15 business model's a little bit different from
16 SMUD's. We are fully decoupled in terms of
17 revenue versus our retail. So we follow kind of
18 what the IOUs do in terms of revenue requirement
19 to operate and provide the power.

20 So we are retaining a very strong focus
21 on energy efficiency. We bill in kWh. We don't
22 see us getting out of billing in kWh. From a
23 customer standpoint, GHG is great, but, you know,
24 they get billed on their kWh usage.

25 So -- but what we are doing with this new

1 program I described, CAMR, is putting our toe in
2 the water of having a carbon-based metric for an
3 electrification program, because electrification
4 is, obviously it's load growth, but also, you
5 know, we want to put the metrics on an even
6 playing field between the solar generation and
7 the energy efficiency.

8 One thing that happens over time is we
9 get to that 100-percent clean grid if we value it
10 solely in terms of CO2, the value of that
11 intervention goes to zero, and that's something
12 that we're conscious of. And we don't feel that
13 that intervention goes to zero if you look at it
14 in terms of other metrics,

15 Specifically, in terms of being a
16 vertically integrated utility that is, you know,
17 wholly and solely responsible for what the rates
18 wind up being based on the decisions we make in
19 all levels of that vertical integration.

20 You know, the -- we -- the buck stops
21 with us in terms of, you know, who's on the
22 hotseat if the rates double if, you know, if we
23 do this wrong, and have to overbuild, have to
24 significantly overbuild and rate-base all that,
25 then there could be significant rates impacts

1 that we don't want to have happen.

2 So, again, just to reiterate, we see
3 electrification is inevitable. It's policy. We
4 support it, but we also have to plan for its
5 impacts on our grid. And so the idea of having
6 shifting load, demand response, that's absolutely
7 growing. We're doing that with thermostats.
8 We're planning to do that with heat pump hot
9 water heaters and some other load-shift
10 strategies.

11 But really, you know, if you have enough
12 storage, you've got to the theoretical limit of
13 storage in terms of the needs of the grid fully
14 with all -- economic sectors fully electrified,
15 if you have enough storage, then you take the
16 time-value issue, the time value of energy
17 efficiency out of the equation.

18 It's valuable at any time, like I said,
19 it's valuable during the day because that leaves
20 more renewable overgeneration to be stored, that
21 is storage. And then by having energy efficiency
22 off peak, then that's -- that lessens the amount
23 you have to store in the first place.

24 So yes, very complicated. Many different
25 ways of looking at it. For the most part, you

1 know, SMUD's approach and ours is probably 95-
2 percent aligned. There's just a few, you know,
3 peculiarities due to our differing business
4 policies.

5 COMMISSIONER GUNDA: Thank you, Rachel
6 and David so much for those comments. A really,
7 really helpful presentation.

8 Commissioner, I know -- I don't know how
9 we're doing on time, if you would entertain, I
10 just have a quick question for Amy.

11 COMMISSIONER MCALLISTER: Yeah, please go
12 ahead. I have one quick question as well or,
13 Gabe, I'm sorry -- great. We've got a few
14 minutes until we want to, you know, ease towards
15 audience questions.

16 COMMISSIONER GUNDA: Surely. Amy, I
17 think this could be a short question. Just, you
18 know, you kind of commented specifically on data
19 needs, kind of the -- you know, you kind of
20 mentioned the kind of information as simple as
21 kind of adding electric panel upgrade information
22 to really track, you know, the overall kind of
23 improvements towards decarbonization.

24 Maybe, you know, if you want to just
25 comment at a very high level any other data needs

1 that you see, that would be great to hear from
2 you.

3 MS. RIDER: That could potentially be a
4 big question, too. On a high level I would say
5 that, you know, in addition to those items I
6 mentioned already, just more information about
7 actual contractor costs, you know, Rachel's data
8 point of it costs \$11,000 to convert to fully
9 electric.

10 I would love to have more transparency
11 about the conversion costs for existing buildings
12 across the State, frankly. That could be a pipe
13 dream, I don't know, but that's one place where I
14 can see there being other advantages to maybe
15 ground truth some of our assumptions, but also to
16 help for more competitive bidding on the part of
17 contractors.

18 MR. JACOT: Yeah, I can comment on that
19 briefly. So all these are projections. You
20 know, I said 1,200 -- 12,500 units at 75,000,000.
21 These are projections. Once we actually get
22 these projects going, we'll get data. And so
23 we'll be constantly refining the projections
24 based on the real-world data that comes in. SMUD
25 has it already for these homes, but of course

1 it's an aggregated blend.

2 Ours would be for this particular program
3 a little bit more complicated because we're
4 starting with multifamily, and we will be
5 including very comprehensive central system
6 upgrades, like central boiler conversions to heat
7 pump boilers, you know, commercial grade
8 upgrades. Same thing with chillers and other
9 types of commercial grade equipment on these
10 centralized projects.

11 We will also have smaller projects, maybe
12 60 units, 20 units, and, you know, those are just
13 all unitary equipment, window ACs, things like
14 that, but they usually still have a central
15 boiler. So we'll be seeing those types of
16 projects.

17 And so, to try to forecast those costs on
18 anything but the highest level aggregated spread
19 is very difficult. We'll get real-world data
20 from various projects that we do, and then we'll
21 be able to tighten those up.

22 COMMISSIONER GUNDA: Thank you.

23 MR. JACOT: Sure.

24 COMMISSIONER GUNDA: Commissioner
25 McAllister, to you.

1 COMMISSIONER MCALLISTER: Yeah. Thanks,
2 everyone. I just have a quick question. It sort
3 of seems to be implied -- I guess I'm mostly
4 talking again to our two utility representatives,
5 Rachel and David, but I think anyone should be
6 able to express themselves on this.

7 It seems to be implied that, you know,
8 mostly we're talking about automated devices, and
9 I want to just get clarity on what -- you know,
10 if you're going to electrify, you know, load flex
11 is important. What are you thinking in terms of
12 just pervasive automation and how that -- you
13 know, how you bring customers along with that.
14 Is that -- you're planning basically 100-percent
15 automation, just make it a hardware solution and
16 a communications solution, or is there -- is it
17 more complicated than that?

18 MS. HUANG: I can start. I would say
19 that as we think about load flexibility, you
20 know, and as we think about equity, we know that
21 we need to bring everybody along. And as I've
22 given with my figures, it's super expensive to
23 pay for everything, or do the direct install for
24 everything.

25 You know, one thing that we are looking

1 at and is -- as it relates to load flexibility is
2 also, how do you think about behavioral
3 approaches? And so, while -- from a customer
4 experience standpoint, having the automation
5 makes it a lot easier to be able to participate,
6 but you have to have money to be able to buy the
7 equipment that can be automated, unless someone
8 basically pays for all of it.

9 And so, we're actually going to be
10 launching this summer a behavioral demand
11 response pilot for the summer to look at
12 behavioral approaches, and see how behavioral
13 approaches -- now, it's not novel. I mean,
14 utilities across the nation have looked at
15 launching behavioral approaches, but we actually
16 have a time-of-use rate.

17 So it's going -- at least for the vendor
18 that we're working with, it's actually going to
19 be the first time they're doing behavioral
20 approaches, which they've done for years with
21 other utilities on the East Coast, but have not
22 done it with a time-of-use rate.

23 So I think this is where -- and if you
24 think about rates signals, that's also behavioral
25 demand response. We have a price, and customers

1 choose how they want to manage things. Now,
2 again, customers may have technology in the
3 background, but the question is, is, you know, do
4 they have the capability to shift certain things
5 if they don't have all the automation? And how
6 reliable is that resource? You know, how
7 interested are people able to participate on the
8 fifth day of a heat storm, what are they going to
9 do?

10 So I think that's where we really want to
11 see what is possible as it relates to no
12 technology options, but recognize that there's
13 going to be a spectrum of people to be able to
14 participate and wanting to have options for
15 everyone.

16 COMMISSIONER MCALLISTER: Thanks for
17 that.

18 I guess I'm wondering how different maybe
19 LADWP is. In the morning we had a -- in the
20 morning we had an interesting presentation from
21 Vincent Barnes from the Alliance to Save Energy,
22 and he really I think forcefully linked broadband
23 access with the things that we're talking about.

24 And so I know you're from two relatively
25 urban areas, but, you know, maybe -- especially

1 at DWP where, you know, you just have incredible
2 diversity and not comprehensive smart meters,
3 maybe you can comment on the complementary nature
4 of those two in your realities.

5 MR. JACOT: Yeah, we don't have
6 widespread smart meters yet, although it's in our
7 five-year plan. Of course it's been in our five-
8 year plan since I started here nine years ago, so
9 we will see.

10 You know, broadband is not our core
11 business, but we understand the equity concerns
12 and the, you know, the imperative on the part of
13 the city to even out those inequalities, in terms
14 of access to technology and broadband. In fact,
15 we often work with the city to help them
16 implement policy initiatives that aren't really,
17 you know, within our core business. So I
18 definitely expect that will be a component of it
19 as it moves forward, but what that looks like as
20 yet -- and right now in its most basic sense, we
21 host other utilities, meaning telecom and the
22 like, on our poles and facilities in a lot of
23 cases. But how that's going to integrate with
24 smart meters, that's an interesting question.
25 You know, we see -- we've seen so much, so much

1 evolution in smart readers in the last 15 years,
2 it's kind of a party you almost want to be late
3 to. I think we're overly late now, but certainly
4 the utilities that adopted it early on, the IOUs,
5 did a lot of it in '08, '09, in a lot of ways
6 their structure is already obsolete. So, you
7 know, that's something we're also very conscious
8 of, these are 50-year -- the utility makes 50-
9 year infrastructure investments. We don't want
10 to drop a billion-and-a-half dollars on something
11 and have it be obsolete in 10 years.

12 So factoring something like broadband
13 support for -- you know, across the City, for our
14 communities is something that's much easier done
15 if we've already optimized what the smart
16 metering infrastructure and equipment itself is
17 going to look like.

18 COMMISSIONER MCALLISTER: Thanks a lot.
19 I just realized that -- Mr. Rechtschaffen, did
20 you have your hand up?

21 COMMISSIONER RECHTSCHAFFEN: I did, but
22 don't worry, it wasn't up for very -- it wasn't
23 up for that long, so --

24 COMMISSIONER MCALLISTER: Go ahead. Go
25 ahead, yeah.

1 COMMISSIONER RECHTSCHAFFEN: -- no need
2 to feel bad.

3 I had a comment and then a question. I
4 just wanted to let folks know that last week in
5 our energy efficiency proceeding, we changed the
6 way we -- there's a broad directive to change the
7 way utilities measure system benefits or
8 efficiency, direct benefits of their portfolio
9 investments. And we're moving away from kilowatt
10 hours and therms saved to something closer to
11 what SMUD's doing.

12 Where we're -- the goal is to provide
13 system benefits, which include GHG reductions, as
14 well as peak load reductions, and other grid
15 benefits. So we are moving in that direction in
16 a significant way.

17 I had a question for David probably,
18 maybe -- it's following up on what you said, and
19 Rachel maybe can jump in if SMUD's done anything.

20 The discussion you had -- or the
21 description you had of the program you're
22 launching for low-income, low-income properties
23 where you're doing the comprehensive retrofits.
24 And you're requiring that developers hire
25 contracts -- contractors that use prevailing

1 wage, and also is -- for certain tasks, as I
2 understood it, or at a certain point they need to
3 use skilled workers.

4 Have you required those kinds of
5 conditions in other programs, and if so, do you
6 have any experience with that?

7 And, Rachel, maybe you could also comment
8 to the extent that SMUD's done that.

9 MR. JACOT: This is the first time we're
10 doing it in a rebate program. We do that, we've
11 done that in several of our direct install
12 programs, where we're hiring the contractors, or
13 we have a third-party implementer who hires the
14 contractors.

15 Direct -- commercial direct install,
16 which is primarily lighting, we mandated that the
17 third-party implementer only use IBEW electrical
18 contractors, and it's worked very well. It's
19 been a very successful program, very large
20 results. We've also expanded it to cover L.A.
21 Unified School District, and where we've done I
22 want to say almost 50 schools, and there's been
23 significant energy savings on those.

24 But this is the first time we're doing it
25 where we're mandating that the customer hires

1 that, you know, that type of labor to execute the
2 project. Of course we're going to have a third-
3 party implementer for CAMR, who will help the
4 customer through that process, just like our
5 implementer for commercial direct install does
6 for bringing on union contractors. But it is a
7 pilot. It's definitely piloting a new approach.

8 You know, we -- for a long time we've
9 touted some of our efforts. We do a door-to-door
10 distribution of LED lightbulbs do it again.
11 That's 2.8 million bulbs to 1.4 million
12 households. And, you know, we bring in, we bring
13 in a company that essentially delivers telephone
14 books and they do this for us, but that's not
15 skilled labor. You know, it's great, it's good.
16 We give some people temporary jobs for six
17 months, but that's not really what we're trying
18 to do from the broader workforce development
19 standpoint here in Los Angeles and greater Los
20 Angeles. So this is our first foray into this on
21 a rebate program, as opposed to a direct install.

22 MS. HUANG: Yeah. In the case of SMUD,
23 our low-income program, particularly the
24 electrification efforts, is the direct install
25 program. And so we are using prevailing wage for

1 that program as well.

2 MR. JACOT: Yeah. And we do have a low-
3 income direct install program -- I should point
4 this out. We do have a low-income direct install
5 program that uses DWP employees. We actually
6 have a construction crew -- several crews that do
7 the work, and of course our workforces are
8 unionized.

9 It's free, and so we plan to marry these
10 programs together, where it's more -- in other
11 words, the customer only pays for the complex
12 stuff through the CAMR Program. The low-income
13 direct install program, if the project is
14 suitable, we'll come and do all the free stuff
15 first. So while that program's competing,
16 they're complimentary. Give them the free stuff
17 first, build the rebate program on top of that.
18 And that's unique as well.

19 It's challenging to have programs that
20 aren't synced up. And, you know, you get half a
21 bowl here and three cups there, but you can't mix
22 them together, which do you choose? That's what
23 we're trying -- that's one thing we're trying to
24 overcome in the program.

25 COMMISSIONER MCALLISTER: Great. Well,

1 thanks a lot for --

2 COMMISSIONER RECHTSCHAFFEN: Thank you.

3 COMMISSIONER MCALLISTER: Thanks for
4 those answers. We're -- I wanted to -- we want
5 to point out that this moving towards carbon
6 aligned metrics is a great trend, and point out
7 that we are doing that at the Energy Commission
8 with this building code update actually.

9 We pivoted to a cost-effectiveness metric
10 that -- and an energy metric that's based on
11 source energy, which really is aligned very
12 tightly with emissions. And so it's great to see
13 us all kind of pivoting in unison on that.

14 Let's see. I'm going to -- I think we're
15 over time, but I think we don't have so much
16 public comment, or perhaps even Zoom comment,
17 that it's going to take all the time we have
18 allotted. So I think we should be good.

19 So, Heather, how do you want to do this?
20 You want to -- questions from the attendees first
21 and then we'll open public comment after that?

22 MS. RAITT: Yeah.

23 COMMISSIONER MCALLISTER: Great.

24 MS. RAITT: So, Kristy, if you could go
25 ahead and moderate some of those questions,

1 that'd be great. Thank you.

2 MS. CHEW: Good afternoon. This is
3 Kristy Crew with the Efficiency Division of the
4 California Energy Commission. A couple of
5 questions have come in.

6 The first one is from Tom Paine. Does
7 renewable propane get any coverage among the
8 renewable fuel considerations? Rural homes tend
9 to be the hardest to electrify, and the most
10 likely to use propane.

11 Anyone want to take on propane?

12 MS. NEUMANN: Well, I can just say what
13 we're thinking about as far as further
14 electrification analysis. That would fall under
15 our additional fossil fuels. But then maybe if
16 somebody from the CPUC could speak to how this is
17 really fuel switching, rather than fuel
18 substitution and may -- you know, it's not a
19 utility-based fuel, so that might be treated
20 differently.

21 MR. COX: This is Rory. I'll take it
22 real quickly. So we don't regulate propane of
23 any type. So it's not something that we've
24 really addressed. I mean it is, in general, as
25 one of these slides said, we do want to electrify

1 rural homes that are propane dependent. But in
2 terms of a propane substitute of any type, that's
3 not something -- we do have an RNG Program for
4 natural, renewable natural gas, because we do
5 regulate that because it's a utility fuel, but
6 not propane.

7 MS. WADHWA: The San Joaquin Valley pilot
8 do switch customers from propane to either
9 electrification or natural gas fuel. So, it's
10 not that we don't recognize the GHG potential
11 there, it's just something we don't regulate. So
12 as such, we cannot go setting standards for
13 renewable propane.

14 MS. CHEW: Okay. Thank you.

15 Next question has to do with workforce.
16 Does the CEC have a workforce development
17 initiative for California community colleagues,
18 curriculum, career pathways, et cetera?

19 MS. CHEW: Is there anyone on the CEC
20 panel that would like to respond to that?

21 COMMISSIONER MCALLISTER: I'm not sure if
22 one of the staff wants to jump in. We certainly
23 pay attention to the workforce issues on -- in
24 any work we do on this topic, including the AB 32
25 or, I'm sorry, the -- yeah, AB 3232 report that

1 Mike mentioned and that we talked about a little
2 bit this morning.

3 And Sarah White from the Office of
4 Planning and Research was slated to be with us
5 today, and I think the workforce issue is
6 something that they're working directly on. So,
7 we didn't have anybody in that sector today. But
8 we certainly could follow-up with you.

9 MR. COX: (Indiscernible.)

10 MS. CHEW: Sorry.

11 MR. COX: I was just throwing in that the
12 PUC does regulate an energy efficiency program
13 which does have a workforce education and
14 training component. And workforce and training -
15 - workforce training will also be a big part of
16 the TECH initiative when it gets off the ground.
17 So we're doing a couple things on our end.

18 COMMISSIONER MCALLISTER: And maybe I'll
19 just throw in that the investor-owned utilities
20 actually have helped quite a bit. At each code
21 cycle when we view up -- when we refresh the
22 code, as we're doing for 2022 now, often there's
23 an education period to adjust any new technology,
24 building practices, et cetera, and often that has
25 a -- you know, that's a workforce component that

1 is kind of routinely done. So, not necessarily
2 revolving around the community colleges, but
3 there is some overlap there.

4 MS. CHEW: Great. Next question has to
5 do with the space needed for hot water heat
6 pumps. The space restrictions for hot water heat
7 pumps will hinder my ability to replace my
8 traditionally gas water heater.

9 That's not really a question, but maybe
10 somebody would like to talk about what kind of
11 requirements are needed for hot water heat pumps.

12 MR. JACOT: Yeah, I'll chime in a little
13 bit there. So, you know, one of the things we
14 run into in looking at which appliances -- how to
15 electrify appliances, there's a lot of challenges
16 like that. A heat pump hot water heater is
17 typically bigger than a gas-fired hot water
18 heater of the same capacity and performance
19 characteristics.

20 There's also the reservice requirement
21 for the -- as we mentioned, for our affordable
22 multifamily program, we'll be adding 750 per unit
23 for panel upgrades, service upgrades, as needed,
24 which will be substantial for a 100-unit
25 building. But in the home, and Rachel had a lot

1 of experience there, in single family homes quite
2 often the hot water heater is in a closet that's
3 only slightly bigger than the hot water heater.
4 So you get into a carpentry situation as well.

5 MS. CHEW: Anyone else want to add to
6 that?

7 Amy, it looks like your hand's up?

8 MS. RIDER: Yeah. I'd just like to add,
9 actually more in response to David's comment than
10 to the question itself, because certainly, you
11 know, the bigger units do take up space and they
12 require adjacent space in order to pull the heat
13 in. That's how the heat pump works.

14 But we did just hear last week, there was
15 a presentation for -- through the Building
16 Decarbonization Coalition where three
17 manufacturers presented their plans for 120-volt
18 plug and play heat pump water heater. So that --
19 all of which are expected to be out by the end of
20 the year. So the retrofit-ready technology is
21 quickly evolving. I don't know how large they
22 are, but just something to keep on the radar.

23 MR. JACOT: Great. It's fast evolving.
24 It's a very fast evolving technology space, just
25 like LEDs were five or six years ago. So,

1 definitely want to stay on top of it.

2 MR. COX: Amy, did you say there were
3 three different manufacturers doing the plug and
4 play by the end of the year?

5 MS. RIDER: That's correct. At least the
6 three I know of. It doesn't mean there aren't
7 more.

8 MS. CHEW: This next question goes to
9 Ingrid. Why doesn't the gas system
10 decarbonization scenario contemplate 100-percent
11 decarbonization?

12 MS. NEUMANN: So, I am not sure that
13 there would be 100-percent available, you know,
14 like renewable gas to replace all of the fossil
15 gas used in California right now. We import --
16 it's certainly more than 80-percent that we use
17 in the State. And so we've heard from some
18 renewable gas advocates that they could replace
19 up to 20-percent. So that's the maximum value
20 that we chose there for that analysis.

21 MS. CHEW: Great. Thank you.

22 Next question, I believe is for the PUC,
23 for Abhilasha. Does the gas new construction
24 bullet refer to looking at gas line extension
25 allowances, when and where?

1 MS. WADHWA: The proceeding -- or the
2 venue is non-decided yet. It's just something we
3 would consider looking deeper into in the future,
4 but we don't have a venue for it yet.

5 MS. CHEW: Thank you.

6 We have a question for SMUD. Is it true
7 that a SMUD customer can convert a gas water
8 heater to a heat pump water heater for \$99? It
9 sounds too good to be true. Are there other
10 costs that can be shared easily here?

11 MS. HUANG: So, the reality is -- and I
12 said that, you know, more from an anecdote
13 standpoint, just to see -- just to illustrate how
14 people in the supply chain, like vendors and
15 contractors, are starting to engage. And I think
16 that's the most important thing, is that we need
17 to educate and engage not just the customers, but
18 all the stakeholders along the way.

19 So, there was a vendor that was offering
20 the \$99. On average we're seeing the -- both
21 with the heat pump water heater and the
22 installation, to average about \$3,800. And at
23 that time that the person was running a \$99 deal,
24 our incentives were at \$3,000. So they've since
25 dropped down to \$2,500. Now still that's about

1 an \$800 difference, so I'm sure -- I think some
2 of those were -- you know, which are the best and
3 easiest installations that didn't require a lot
4 of additional work. And then I don't believe
5 that vendor's offering that right now, but it was
6 just to illustrate that if you can engage people
7 within the supply chain, they'll start to get
8 creative on how to push these things as well.

9 MS. CHEW: I have a question from the
10 same person, please, was, have you considered
11 offering match funding programs for conversion?

12 MS. HUANG: So I'm not exactly sure what
13 "match funding" means. Like I said, our low-
14 income programs we're currently doing direct
15 install, but for our regular mass-market
16 residential customers, we offer an incentive.
17 So, it helps them buy down the cost, but they are
18 also making an investment as well.

19 MS. CHEW: Sounds good. Last question so
20 far is, is there any discussion of using smart
21 main breaker panels to act as air traffic control
22 for electricity usage as a way to circumvent
23 service upgrades that would otherwise be needed
24 for building electrification?

25 MS. HUANG: So I can chime in since I've

1 got our Research and Development Department. So
2 my R&D team has been looking at this concept of
3 smart panels and smart breakers. We haven't
4 initiated an R&D project yet, but we've been
5 talking to EPRI, and we've been looking at what
6 we might possibly do.

7 MS. CHEW: Anyone else want to chime in
8 on that one? If not, that was our last Q&A.

9 MS. RIDER: Yeah. I'll add -- I'll just
10 add to that. In terms of -- I'm not familiar
11 with smart panels. I think it sounds like a
12 fantastic idea, but certainly the opportunity for
13 a watt diet, for whether it's through -- there's
14 switching technologies, where you can actually
15 share a breaker across multiple technologies
16 through a common -- for example, for a dryer and
17 an electric vehicle charger, to maximize the
18 space constraints on a smaller size panel.

19 There are lots of other opportunities out
20 there, and we continue -- the market continues to
21 innovate, and so.

22 MS. CHEW: One more question just popped
23 in if we have time. Outside of SMUD and L.A.,
24 are there incentives for heat pump space heating,
25 or just water heaters for the general market?

1 MS. RIDER: Does anyone want to talk
2 about TECH, other than me? TECH is coming.
3 Later this year the TECH program will be rolled
4 out statewide, and they are focused on space and
5 water heating.

6 Anybody else want to add to that?

7 MR. COX: Yeah, you're right --

8 MS. WADHWA: Yeah. I thought I heard it
9 was for L.A., that's why I didn't answer, but
10 Rory --

11 MR. COX: Yeah. I think the question was
12 outside of L.A. and Sacramento. So, yes, that's
13 correct. The TECH initiative is -- will be on-
14 line in -- if -- I think it's a few months away.
15 And then there are also some local, like I know
16 BayREN has a program, and I think Marin Clean
17 Energy has a program. There are a lot of, you
18 know, regional players that are offering
19 incentives.

20 I think that if you go to the Switch Is
21 On, there's a rebate finder at that website. I'm
22 not sure if that's actually -- Amy, you would
23 know.

24 MS. RIDER: Yes. Switchison.org. Thank
25 you, Rory, for that plug. Yes, you can look up

1 by zip code your rebates available in your area,
2 as well as find contractors in your area.
3 Switchison.org. Thank you.

4 MS. CHEW: Great. Thank you, everyone.
5 That was all the question and answers that have
6 come in.

7 MS. RAITT: Great. Thank you, Kristy,
8 and thank you to audience attendees that
9 submitted questions.

10 And so, Commissioners, if you had any
11 last burning questions, otherwise we'll move on
12 to public comment.

13 COMMISSIONER MCALLISTER: No. Go ahead,
14 Heather. No.

15 MS. RAITT: All right. So, RoseMary
16 Avalos from the Energy Commission's Public
17 Advisor's Office is here to help moderate
18 questions. I don't see any hands up, but go
19 ahead, RoseMary.

20 MS. AVALOS: Thank you, Heather. If
21 anyone wishes to speak, go ahead and raise your
22 hand. On the phone, again, it's star-nine.

23 I don't see any raised hands, Heather, so
24 I'll go ahead and close public comment and pass
25 the mike back to you.

1 MS. RAITT: All right. Well, thanks.
2 So, can you just advance one slide, please? Can
3 you go back to the slides?

4 I'm just going to make one quick
5 announcement before we close, go to closing
6 remarks.

7 I just wanted to mention that the Energy
8 Commission is seeking nominations for its Clean
9 Energy Hall of Fame Awards. And the awards honor
10 individuals and entities making exceptional
11 contributions to help California achieve 100-
12 percent clean energy future for all. Categories
13 include Lifetime Achievement, Clean Energy
14 Champions, and Youth Game Changer. And
15 nominations are open and they're due on June 25th.
16 And just go to the Energy Commission's website
17 for more information.

18 And then, finally, I will also just add
19 that if you wanted to make comments and didn't
20 chime in this afternoon, feel free to submit
21 written comments, and they're due on June 8th.
22 And that's it. So I'll pass it back to
23 Commissioner McAllister.

24 COMMISSIONER MCALLISTER: Thank you very
25 much, Heather. Wow, what a terrific day actually

1 today, both the morning and the afternoon. And I
2 want to just thank Heather and your team, all the
3 staff that was behind this. You know, it's
4 deceptive when things go smoothly like they
5 invariably do in these workshops because there's
6 so much skill behind them. But it's deceptive
7 how much work goes into it because they make it
8 look really easy. But staff in both the
9 Substance Division and the Efficiency Division
10 teed up a lot of great topics, and got wonderful
11 speakers lined up and prepped to do today.

12 And so I want to thank them, and all the
13 speakers and all the attendees. We had really
14 good participation today, really good attendance,
15 so I'm extremely happy about that.

16 And I think the big takeaways are, you
17 know, we -- this is a mammoth undertaking that
18 we're all involved in. And there are many pieces
19 to this puzzle, and they're starting to take
20 shape in a way that they fit together, and that's
21 really heartening.

22 You know, yes, it's a large, it's a large
23 enterprise, but there's also a lot of creativity,
24 a lot of innovation here in California and
25 beyond, far beyond, and boldness. There's a

1 willingness to be bold, and we've heard a lot of
2 that today. And I think that's what we have to
3 do, we have to be bold. We have to think big,
4 and bring big capital and bring major players to,
5 you know, get involved here. And I think it's
6 becoming very clear that we're serious about this
7 and we're going to make it happen. And there's a
8 lot of upside to folks who get in and help it
9 happen.

10 And so, you know, not to diminish some of
11 the barriers and challenges that we've heard
12 about today, but I really am leaving today
13 heartened by all the -- by just the good energy
14 I'm feeling from all of you, and seeming optimism
15 and sort of can-do mentality that everybody's
16 brought to the fore today.

17 So thanks again, everyone, and I just
18 want to poll -- you know, thank you also to my
19 colleagues, Commissioner Gunda, Commissioner
20 Monahan and Commissioner Rechtschaffen, for being
21 here much of the day, and want to see if any of
22 them have any final comments.

23 COMMISSIONER GUNDA: Yeah. Commissioner
24 McAllister, just want to thank you again for
25 really kind of visioning this out for us today,

1 and extend my thank yous to the staff and the
2 technical team, the IEPR team, and everyone
3 present today, and the panelists and the
4 attendees. And definitely if I don't do this,
5 Commissioner Rechtschaffen would be unhappy. A
6 special thanks to Commissioner Rechtschaffen for
7 being here.

8 So, I mean, I think -- I kind of wanted
9 to share the same spirit. I think, you know,
10 there's a few different threads that came
11 together. I think the importance of the program
12 design, the importance of kind of the overarching
13 vision statement and the underpinning of the
14 analytics.

15 And I feel like, you know, throughout the
16 presentations this morning and this afternoon,
17 directionally it seems like we're all aligning on
18 a lot of different principles, along with a
19 strong foundation for equity and fairness. So I
20 think, you know, most of you implicitly or more
21 exclusively talked about that, and I just am
22 really heartened, too, that it feels like we are
23 at a moment that we can make this happen.

24 And so I just want to thank all of you
25 for your leadership and just kind of your passion

1 and vision for making this happen every day. So,
2 I'm really glad to be a part of the conversation
3 and continue to support all of it. Thank you.

4 COMMISSIONER MCALLISTER: Thank you very
5 much.

6 I think Commissioner Monahan had to jump,
7 so you get the last word, Commission
8 Rechtschaffen.

9 COMMISSIONER RECHTSCHAFFEN: The only
10 reason I stayed the whole time was to hear
11 Commissioner Gunda thank me. I see Commissioner
12 -- I want to thank you, Commissioner McAllister,
13 Commissioner Gunda, for a great workshop. I
14 learned a lot. I think I'm going to end with
15 what Commissioner Gunda said. It's so heartening
16 to see that equity is now being interwoven at the
17 foundation, the heart of what different
18 jurisdictions are doing, not as an afterthought,
19 not as a separate track.

20 And I for one take away I learned a lot
21 from our colleagues at SMUD, who have a really
22 fascinating challenge goal that they want to
23 electrify all low and moderate -- or low-income
24 consumers 100-percent before the rest of the
25 market. That turns the way -- turns on its head

1 the way we've done things traditionally. And I
2 think we at the PUC need to think seriously about
3 goals like that, and we certainly will. So,
4 that's one of the insights I learned from our
5 colleagues, and I really appreciated all the
6 discussion and dialogue today. Thank you very
7 much.

8 COMMISSIONER MCALLISTER: Thanks a lot,
9 Commissioner. I have to second that, that
10 thought about really, you know, historically
11 we've kind of gone top down, you know, the sort
12 of cream skimming, you know, expensive
13 technologies, and then got the cost down as we go
14 up in volume. Well, we really do have to reverse
15 it, as you said, and start at the, you know, in
16 the low-income and disadvantaged, you know, the
17 affordable sector, and that's -- if we move the
18 market there, then it will grow really fast.

19 I also want to commend you, Commissioner
20 Rechtschaffen, for the equity metrics that you
21 led at the PUC and guided through adoption.
22 Because I think that was a really big lift and a
23 substantive lift, and will really change, change
24 things for the better. So, thank you for that.

25 COMMISSIONER RECHTSCHAFFEN: Thank you.

1 COMMISSIONER MCALLISTER: So, with that,
2 I think we are done.

3 Heather, any wrap-up comments? We have
4 well, we want comments by June 4th, I believe it
5 was, correct?

6 MS. RAITT: June 8th.

7 COMMISSIONER MCALLISTER: Sorry, June
8 8th. Okay. June 8th is the comment deadline.
9 Please submit your written comments everyone. We
10 read every one, and they really help us guide the
11 conversation. And it just gets a better outcome
12 all around when we get more participation. So,
13 thanks a lot.

14 Anything else, Heather, before we wrap
15 up?

16 MS. RAITT: That's it. Thank you.

17 COMMISSIONER MCALLISTER: All right.
18 Well, thanks everybody for a great day, and take
19 care.

20 MS. RAITT: Have a good night.

21 (The workshop concluded at 4:48 p.m.)

22

23

24


25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 17th day of August, 2021.



ELISE HICKS, IAPRT

CERT**2176

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



MARTHA L. NELSON, CERT**367

August 18, 2021