

<b>DOCKETED</b>	
<b>Docket Number:</b>	21-IEPR-07
<b>Project Title:</b>	Clean Transportation Benefits
<b>TN #:</b>	239475
<b>Document Title:</b>	Transcripts - 7-30-21 for IEPR COMMISSIONER WORKSHOP on BENEFITS from the CLEAN TRANSPORTATION PROGRAM
<b>Description:</b>	CEC IEPR0730 FINAL
<b>Filer:</b>	Raquel Kravitz
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	8/25/2021 3:40:24 PM
<b>Docketed Date:</b>	8/25/2021

STATE of CALIFORNIA  
NATURAL RESOURCES AGENCY  
CALIFORNIA ENERGY COMMISSION

In the matter of: ) Docket No. 21-IEPR-07  
)  
*2021 Integrated Energy* )  
*Policy Report Update* )  
*(2021 IEPR)* )  
\_\_\_\_\_ )

Transcript of the  
IEPR COMMISSIONER WORKSHOP  
on BENEFITS from the CLEAN TRANSPORTATION PROGRAM

Friday, July 30, 2021

held remotely by the

California Energy Commission  
Warren-Alquist State Energy Building  
1516 Ninth Street  
Sacramento, California 95814

In accordance with Executive Order N-08-21, the Workshop was held via the Zoom video/audio internet and teleconference platforms.

Reported by:  
P. Petty, CERT

APPEARANCES

Workshop Leadership:

J. Andrew McAllister, CEC Commissioner  
Patricia Monahan, CEC Commissioner

CEC Staff:

Jane Berner, Hydrogen Team  
Jonathan Bobadilla, Lead Staff for Manufacturing  
Kristy Chew  
Susan Ejlalmaneshan, Program Manager, Benefits Report  
Quentin Gee  
Tami Hass, Supervisor, Program Integration Unit  
Raquel Kravitz  
Thanh Lopez, EV Charging Infrastructure Unit  
Dorothy Murimi, Public Advisor's Office  
Hieu Nguyen, Advanced Fuel Production Team  
Marc Perry, Freight and Transit Team  
Heather Raitt, Assistant Executive Director, Policy Development  
Hannon Rasool, FTD Deputy Director  
Larry Rillera, Lead Staff on Workshop Training And Equity  
Charles Smith, Manager, Transportation Policy Analysis Office

Present from the National Renewable Energy Laboratory (NREL):

Ranjit Desai  
Madeline Gilleran  
Chad Hunter  
Christopher Neuman

Presenters:

Carmelita Miller, The Greenlining Institute  
Stephanie Chen, MCE  
Abigail Solis, Self-Help Enterprises  
Mark Cooper, Consumer Federation of America

Public Comment:

Jennifer Lu, SoCalGas  
Robert Perry, Synergistic Solutions  
Mikhael Skvarla, the Gualco Group, Inc., on behalf of  
the California Hydrogen Commission

I N D E X

Introduction:	page	4
Workshop Leadership Opening Remarks:	page	5
CEC Staff Presentations on the Benefits of the Clean Energy Program:	page	7
National Renewable Energy Laboratory (NREL) Presentation on Quantifying Benefits:	page	53
Public Comments:	page	99
Adjournment:	page	107

1 P R O C E E D I N G S

2 July 30, 2021

9:30 o'clock a.m.

3 MS. RAITT: Everybody, welcome to today's 2021  
4 IEPR Commissioner Workshop, the benefits from the Clean  
5 Transportation Program. I'm Heather Raitt, the Program  
6 Manager for the Integrated Energy Policy Report, which we  
7 refer to as the IEPR.

8 This workshop is being held remotely, consistent  
9 with Executive Order N-08-21, to continue to help  
10 California respond to, recover from, and mitigate the  
11 impacts of the Covid-19 Pandemic. The public can  
12 participate in the workshop consistent with the direction  
13 in the executive order.

14 To follow along, the schedule and slide decks  
15 have been docketed and are posted on the CEC's website.  
16 All IEPR workshops are recorded and the recording will be  
17 linked to the CEC's website shortly following this  
18 workshop and a written transcript will be available in  
19 about a month.

20 Attendees have the opportunity to participate  
21 today in a few different ways. For those joining through  
22 this online Zoom platform, the Q&A feature is available  
23 for you to submit questions. You may also upload a  
24 question submitted by someone else. Click the thumb's up  
25 icon to upload. Questions with the most votes are moved

1 to the top of the queue. We will reserve a few minutes  
2 near the end of the morning to take questions but will  
3 likely not have time to address all the questions  
4 submitted.

5           Alternatively, attendees may make comments  
6 during the public comment period at the end of the  
7 morning. Please note that we will not be responding to  
8 questions during the public comment period. Written  
9 comments are also welcome and instructions for doing so  
10 are in the workshop notice. Written comments are due  
11 August -- I want to say -- 11th -- 13th. Excuse me.  
12 August 13th.

13           So that's it. So with that I will turn over to  
14 Commissioner Andrew McAllister for opening remarks.

15           Thank you, Commissioner.

16           COMMISSIONER MCALLISTER: Well, thank you,  
17 Heather.

18           So my name's Andrew McAllister. I'm a  
19 commissioner overseeing this year's Integrated Energy  
20 Policy Report. And I just want to welcome everyone here.  
21 Thanks for all the attendees and, in advance, for all the  
22 presenters both in our staff and everyone throughout the  
23 day. I guess so we'll have mostly staff in the morning  
24 and then -- and then moving -- or first and then moving  
25 onto the presentation by NREL.

1           So I think rather than do any setup, I think  
2 I'll just say this is within the trajectory of this year's  
3 IEPR, obviously. Transportation is a massive piece of  
4 what we do here at the Energy Commission. And we are very  
5 lucky to be joined by the lead commissioner on  
6 transportation, Commissioner Patty Monahan.

7           And I will just pass the mic off to you,  
8 Commissioner Monahan, so thanks.

9           COMMISSIONER MONAHAN: Thanks, Commissioner  
10 McAllister.

11           So welcome, everybody. And I'm excited to have  
12 this conversation. This is a chance for us to review the  
13 impacts of the investments that we've been making to  
14 accelerate clean transportation in California. And this  
15 program has been around a long time, I think 2008 was the  
16 first legislation for this program. And in the beginning,  
17 you know, we were very focused on a diversity of fuels and  
18 what we have seen over time is that zero emission  
19 transportation has become -- you know, there is a greater  
20 and greater opportunity to accelerate not just near zero  
21 but zero emission in transportation.

22           Some of the impacts of our investments can be  
23 really hard to measure. And one of the examples of that  
24 is our investment in zero-emission vehicle refueling  
25 infrastructure. It's really hard to measure what the

1 concrete greenhouse gas impact is of putting, you know, an  
2 electric vehicle charger or a hydrogen-refueling station  
3 in a community. Yet we know that's a major barrier to  
4 deployment. And so the analytical team has been wrestling  
5 with these very challenging questions around, well, how do  
6 we measure impact and benefit with investments that we  
7 know are important but are hard to evaluate in greenhouse  
8 gas reduction terms.

9           So this -- you know it helps us refine our  
10 investments and improve our impact, and just really  
11 appreciate the analytical team that's been working on this  
12 and look forward to today's conversation.

13           COMMISSIONER MCALLISTER: Great. So let's pass  
14 it back to Heather to get started. I think -- well,  
15 Commissioner Gunda actually sends his regrets. He is  
16 working -- he is the lead commissioner on reliability.  
17 And with the constant heatwaves and challenges out there  
18 in the grid, he's rightfully focused on that and so likely  
19 will not be joining us today. So with that we'll say  
20 thanks to Commissioner Monahan and we'll pass it back to  
21 Heather for the series of staff presentations.

22           MS. RAITT: Great. Thank you, Commissioner.

23           Yeah. So we have a phase of commission -- oh,  
24 excuse me -- Energy Commission staff presentations, staff  
25 from the Fuels and Transportation Division. And the first

1 presenter is Susan Ejlalmaneshan. And she is the Program  
2 Manager for the Benefits Report. Following that,  
3 following her is Thanh Lopez from the EV Charging Team,  
4 and then Jane Berner from the Hydrogen Team, Marc Perry  
5 from the Freight and Transit Team, Hieu Nguyen from the  
6 Advanced Fuel Production Team, Jonathan Bobadilla who is  
7 the Lead Staff for Manufacturing, and Larry Rillera who is  
8 the Lead Staffer on Workshop Training and Equity.

9 So we'll just go through the presentations in  
10 order and then we'll take questions from the dias and then  
11 any questions -- a little time for questions from the  
12 participants using Zoom.

13 So with that, go ahead, Susan.

14 MS. EJLALMANESHAN: All right. Good morning,  
15 everyone. I am Susan Ejlalmaneshan with the Fuels and  
16 Transportation Division. Today I will be providing a  
17 brief overview of Clean Transportation Program along with  
18 some background information on Benefits Report  
19 requirements and codes. but before that let's have a quick  
20 review of the structure of today's workshop. Next slide,  
21 please.

22 I will provide an overview of the Clean  
23 Transportation Program of course. Other CEC staff will  
24 present on various funding categories, including light  
25 duty EV charging infrastructure, public hydrogen-refueling

1 stations, freight and transit, fuel production,  
2 manufacturing, and, finally, workforce training and  
3 development.

4 Then National Renewable Energy Laboratory  
5 analysts are going to provide their presentation on  
6 quantifying benefits. Next slide.

7 The transportation sector is the largest source  
8 of greenhouse gas emissions in California. When you  
9 combine local emissions with upstream petroleum  
10 extraction, and refining, it is roughly 50 percent of in-  
11 state emissions. To meet the goals set in State policy,  
12 the state transportation sector will need to transition to  
13 low and zero carbon fuels and technologies. Next slide.

14 This slide captures some of the key policies  
15 guiding our implementation of the Clean Transportation  
16 Program. Our statute calls on us to provide preference to  
17 projects that maximize these and other goals. They  
18 include a variety of legislation, regulations, and  
19 government executive orders, all of which work in tandem  
20 to establish goals to achieve lower harmful emissions,  
21 better air quality, and carbon neutrality. Next slide,  
22 please.

23 The Clean Transportation Program originated from  
24 Assembly Bill 118 in 2007 and provides up to \$100 million  
25 per fiscal year to help address the State's climate change

1 policies. The primary charge of the program, as capture  
2 here, is to develop and deploy innovative technologies  
3 that transform California's fuel and vehicle types to help  
4 attain the State's climate change policies, without  
5 adopting any one preferred fuel or technology.

6 Further, stated in the statute, the Commission  
7 shall provide preferences to those projects that maximize  
8 the goals of the program. Some examples include the  
9 project's ability to provide a measurable transition to a  
10 diverse portfolio of viable alternative fuels that meet  
11 petroleum reduction and alternative fuel goals: The  
12 project's consistency with existing and future State  
13 climate change policy and low carbon fuel standard, the  
14 project's ability to reduce criteria air pollutants and  
15 air toxics, and more. Next slide, please.

16 It is worth noting that the Clean Transportation  
17 Program does not operate in a vacuum. Instead, our  
18 program supports and complements statewide efforts to  
19 decarbonize the transportation sector. This includes  
20 coordinating with a number of different agencies and  
21 programs, including zero emission vehicle regulations, low  
22 carbon fuel standard, cap and trade/greenhouse gas  
23 reduction fund, utility investments, settlement  
24 agreements, air quality improvement program, Carl Moyer  
25 Program, utility investments into charging infrastructure,

1 and legal settlements that support ZEVs and ZEV  
2 infrastructure. Next slide, please.

3 Fiscal year 2021-2022 is the thirteenth year of  
4 the Clean Transportation Program. This table shows a very  
5 simple summary of where nearly \$1 billion in program  
6 funding has gone through March 2021. The program has a  
7 broad portfolio of project types and fuel and technology  
8 types, as shown. Everything from low carbon biofuel  
9 production facilities to plug-in electric vehicle chargers  
10 to natural gas vehicles, to hydrogen-refueling stations.  
11 Next one, please.

12 Our statute requires the Energy Commission to  
13 include an evaluation of the Clean Transportation  
14 Program's efforts as part of each biennial Integrated  
15 Energy Policy Report, or IEPR. The last version was  
16 included in the 2019 IEPR. This evaluation includes the  
17 list of funded projects, the expected benefits from the  
18 funded projects, the overall contribution toward a  
19 transition to clean, alternative transportation fuels, the  
20 identification of obstacles and challenges of access, to  
21 clean alternative transportation fuels and, finally,  
22 recommendations for reaching the State's goal. Next  
23 slide, please.

24 The CEC seeks to increase the participation of  
25 disadvantaged and underrepresented communities from a

1 diverse range of geographical regions. The CEC also seeks  
2 to effectively engage communities disproportionately  
3 burdened by pollution and improve economic resiliency,  
4 including rural and tribal communities.

5 Today we have accomplished the following:  
6 Diverse the Clean Transportation Program Advisory  
7 Committee to better reflect California communities and  
8 provide increased representation of program beneficiaries,  
9 environmental justice communities, rural communities,  
10 tribes, and others. Consulting the Disadvantaged  
11 Community Advisory Group for guidance and recommendations  
12 on program effectiveness as it relates to disadvantaged  
13 communities and other vulnerable and underrepresented  
14 groups. Consulting with the CEC's Tribal Program and the  
15 Tribal Lead Commissioner for assistance with outreach and  
16 promotion of transportation and related funding  
17 opportunities to tribes.

18 Assessing distribution and access of EV charging  
19 infrastructure under SB 1000. Results show that public  
20 chargers are located with EVs but unevenly distributed by  
21 income, population density, and geography. Low-income  
22 communities have the fewest chargers per capita and the  
23 widest range of drive times to chargers, up to over three  
24 hours to a DC fast charger, compared to medium- and high-  
25 income communities. Analysis is ongoing and results will

1 help inform equitable EV infrastructure deployment under  
2 the Clean Transportation Program. Next slide.

3 Out of nearly \$1 billion in Clean Transportation  
4 Program funding spent so far; \$484.7 million, or 49  
5 percent, has been spent within disadvantaged community,  
6 low-income community or both. That percentage increases  
7 to 69 percent if you remove statewide level projects from  
8 the equation. The data used to help determine the  
9 location of these investments is based on the use of the  
10 CalEnviroScreen Tool. In one of the most recent  
11 investment plans for the program, the plan articulated a  
12 minimum investment of 50 percent of program funds are to  
13 go to priority communities. As a result of this  
14 intentionality, these communities can accrue immediate  
15 environmental and economic benefits of the project's work.  
16 Next slide, please.

17 Program and staff have begun looking at ways to  
18 better define benefits to disadvantaged communities other  
19 than location-based project results. This work is looking  
20 at ways to better capture actual benefits to disadvantaged  
21 and low-income communities. The goal is to develop  
22 program-wide best practices and develop metrics for better  
23 tracking and reporting of benefits. For transparency, the  
24 team will follow a public process, including holding a  
25 workshop to solicit input and feedback, engagement with

1 various stakeholders, and plan to begin implementation in  
2 early '22. Next slide.

3 This concludes my presentation, and now I'm  
4 handing it over to Ms. Thanh Lopez. Thank you for your  
5 consideration.

6 MS. LOPEZ: Good morning. I'm Thanh Lopez,  
7 staff in the EV Charging Infrastructure Unit within the  
8 Fuels and Transportation Division. I will be providing an  
9 overview of: Light-duty electric vehicle charger  
10 investments, program successes, and near-term funding  
11 plans for light-duty electric vehicle charging. Next  
12 slide, please.

13 I'd like to start with a history of electric  
14 vehicle charger investment. In 2010, the Energy  
15 Commission partnered with the federal government to  
16 frontload plug-in electric vehicle infrastructure, which  
17 included the EV Project, a large-scale plug-in electric  
18 vehicle infrastructure demonstration funded by the U.S.  
19 Department of Energy.

20 In 2012, the Commission focused on regional  
21 planning to prepare regions in California for the mass  
22 deployment of plug-in electric vehicles. The CEC  
23 continues to provide support for the installation of  
24 charging infrastructure and focus on the upgrade or  
25 retrofit of legacy chargers to the SAEJ1772 standard we

1 use today.

2           In 2014, the focus was on increasing the number  
3 of available public and shared private charger  
4 infrastructure to meet specific needs, such as charging at  
5 public destinations, workplaces, fleet, and at multi-  
6 family housing. In 2015, the CEC focused on the  
7 deployment of DC fast chargers along highway corridors to  
8 facilitate interregional travel within California as well  
9 as to and from Nevada, Arizona, and Oregon. Next slide,  
10 please.

11           In order to target funding to move the needle to  
12 reach California's EV infrastructure target, the  
13 Commission needed a mechanism to install EV charging  
14 infrastructure much more quickly and effectively. In  
15 2017, the CEC awarded an agreement with the Center for  
16 Sustainable Energy to launch our first block grant  
17 project, CALeVIP, the California Electric Vehicle  
18 Infrastructure Project, which provides targeted regional  
19 streamlined rebated incentives for charger deployment.

20           In 2018, the CEC funded EV Ready Communities  
21 Blueprints for communities to identify actions needed to  
22 accelerate the implementation of electrified  
23 transportation at the regional level. This was a two-  
24 phase effort. In 2020, Phase II funded the implementation  
25 of those projects identified in Phase I.

1           Recognizing that there is not a one size-fits-  
2 all solution to charging needs, in 2020 the CEC released a  
3 solicitation to demonstrate innovative electric vehicle  
4 charging solutions for light, medium, and heavy-duty  
5 vehicles, and worked to accelerate the successful,  
6 commercial deployment of those solutions.

7           To present day 2021, the CEC is in the process  
8 of selecting block grant implementors to continue to  
9 provide incentives for electric vehicle charger  
10 deployment. The CEC is also funding vehicle grid  
11 innovation labs to increase capacity and through-put of  
12 electric vehicle charger standards testing at  
13 laboratories. The intent is to provide a timely and cost-  
14 effective avenue for stakeholders to validate and test  
15 products for conformance to established standards. And  
16 later this year, the CEC anticipates solicitations  
17 targeting light-duty transportation services, multi-family  
18 housing, and rural areas of the state. Next slide,  
19 please.

20           The CEC has supported a rollout of light-duty  
21 plug-in electric vehicles by awarding more than \$188  
22 million in Clean Transportation Program funding for  
23 electric vehicle chargers. This includes a variety of  
24 technologies, such as Level 1, Level 2, and DC fast  
25 charging, with different access levels, such as private,

1 shared-private access, and public access.

2           The CEC has funded chargers at a variety of  
3 locations, including nearly 4,000 private residential  
4 chargers at the beginning of the program, over 9,000  
5 shared-private and public-access chargers located at  
6 workplaces, fleets, highway corridors, and public  
7 destinations. I will note that this does not include  
8 Charger 3, a project that has not been approved at a CEC  
9 business meeting and a project that has not yet been  
10 reserved under a CALeVIP project, so meaning the rebate  
11 has not been reserved under an active CALeVIP project or a  
12 future-planned project that has yet to be approved. Next  
13 slide, please.

14           So funding from the CEC's Clean Transportation  
15 Program has helped contribute to California's network of  
16 shared, private and public chargers. The CEC's efforts,  
17 starting in 2015, helps build out a network of DC fast  
18 chargers along highway corridors in California, including  
19 nearing completion of its portion of the West Coast  
20 electric highway.

21           This DC fast charger network will also help  
22 increase range confidence to allow electric vehicle  
23 drivers to travel longer distances across the state and  
24 enabling interregional travel.

25           Funding of EV community blueprints have helped

1 nine different communities identify actions and milestones  
2 needed to become an electric vehicle ready community. The  
3 effort encouraged collaboration from community leaders,  
4 local government, technology developers, utilities,  
5 researchers, and other project partners to help develop  
6 these replicable blueprints.

7           And, finally, the CEC's CALeVIP Block Grant  
8 Project provides incentives for the purchase and  
9 installation of electric vehicle charging infrastructure  
10 in targeted regions throughout the state. The funding is  
11 targeted at regions that have low rates of infrastructure  
12 installation or lack adequate incentives from utilities  
13 and other sources. To date, CALeVIP has launched 10  
14 regional incentive projects, covering 32 counties in the  
15 state. Next slide, please.

16           The CEC has made various investments in projects  
17 that provide benefits to low-income and disadvantaged  
18 communities. The CEC has funded innovative e-mobility  
19 projects, such as electric vehicle sharing, ridesharing,  
20 and alternate transit services to promote innovative  
21 mobility service demonstrations in disadvantaged  
22 communities. These projects have broadened the market of  
23 plug-in electric vehicle purchases, such as for those that  
24 may not have dedicated parking space for charging at home.  
25 Projects, including demonstrating an all-battery electric

1 vehicle car-sharing program and multi-family housing  
2 locations, which include affordable housing developments  
3 and housing within disadvantaged communities.

4 Another project demonstrated a ridesharing  
5 program with Chevrolet Volts for students attending Fresno  
6 City College from rural areas of Fresno County.

7 The Clean Mobility Options Program is a first  
8 come/first served voucher program that focuses on  
9 disadvantaged, low-income, and California Native Tribal  
10 communities. The program provides vouchers to fund Clean  
11 Transportation Projects, such as that zero-emission  
12 vehicles, charging infrastructure, and site improvements.  
13 The CEC is partnering with the California Air Resources  
14 Board to expand the program eligibility and funding. The  
15 funding from the CEC will offer additional vouchers,  
16 technical assistance, and outreach to communities.

17 And, finally, CALeVIP offers dedicated funding  
18 amounts for higher incentive amounts for projects in  
19 disadvantaged communities and/or low-income communities.  
20 On the graphic to the right, you will see 49 percent of  
21 rebates for Level 2 installations and 42 percent of DC  
22 fast charger installations went to disadvantaged  
23 communities. Next slide, please.

24 As a demonstration of the Energy Commission's  
25 effort to provide benefits to low-income and disadvantaged

1 communities, we most recently launched Inland Counties  
2 Incentive Project under CALeVIP, that focuses on deploying  
3 EV charging in 13 rural counties across the state. A  
4 minimum of 35 percent of funding will be invested in  
5 disadvantaged and/or low-income communities in all  
6 counties and a minimum of 25 percent will be reserved for  
7 installations in unincorporated communities for specific  
8 charging. Next slide, please.

9           The recently-published Assembly Bill 2127,  
10 Electric Vehicle Charging Infrastructure Assessment  
11 Report, shows the state will need nearly 1.2 million  
12 public and shared-private chargers by 2030 to meet the  
13 demands of eight million light-duty zero-emission  
14 vehicles. The state currently has over 70,000 operational  
15 chargers with an additional 123,000 planned by 2025. This  
16 means the state may fall short by about 57,000 chargers.  
17 The CEC will continue to provide funding through the  
18 second block grant, solicitations, and our other funding  
19 methods to help build this near-term infrastructure gap,  
20 as well as continue to focus on providing benefits for  
21 low-income and disadvantaged communities.

22           While there is a need to fill the infrastructure  
23 gap, the CEC will also continue to look at charging  
24 innovations that fit unique settings or better serve  
25 harder-to-reach market segments, such as multi-family

1 housing, also innovations that serve different business  
2 models or technologies that may not comport with existing  
3 program requirements. For future solicitations for  
4 electric vehicle charging, the CEC plans to target multi-  
5 family housing residents and increase charging access in  
6 rural communities.

7 This concludes my presentation. I will pass it  
8 off to my colleague Jane Berner, who will present on  
9 hydrogen-refueling stations.

10 MS. BERNER: Great. Thank you, Thanh.

11 All right. As Thanh said, I'm Jane Berner from  
12 the Hydrogen Refueling Infrastructure Unit. I will be  
13 providing a brief overview of the Clean Transportation  
14 Program support of hydrogen-refueling stations for fuel  
15 cell electric vehicles. Next slide, please.

16 Assembly Bill 8 of 2013 established the goal of  
17 achieving at least 100 publicly-available hydrogen  
18 stations in California and stipulated that \$20 million be  
19 allocated annually from the Clean Transportation Program  
20 to support the development of these stations.

21 Hydrogen stations provide fuel for fuel cell  
22 passenger cars, like the Toyota Mirai and the Hyundai Nexon  
23 that are currently available in California. A picture of  
24 one of the most recently-opened stations is on this slide,  
25 so you have an idea of what they're looking like these

1 days.

2           We have another goal of achieving 200 stations  
3 by 2025. That was established in an executive order from  
4 Governor Jerry Brown. Susan mentioned this executive  
5 order. And along with the charging stations that Thanh  
6 discussed, this infrastructure will support the goal of  
7 having five million zero-emission vehicles by 2030.

8           Governor Gavin Newsom also set additional goals  
9 for zero-emission vehicles in California, as Susan  
10 described in her presentation. And the two main zero-  
11 emission vehicle types, which are fuel cell electric  
12 vehicles and plug-in electric vehicles, and complement  
13 each other because each has advantages in particular  
14 customer needs cases. Fuel cell electric vehicles can  
15 offer advantages for those who drive long distances, have  
16 limited time to refuel, or carry a heavy load. Next  
17 slide, please.

18           To date, about \$166 million in Clean  
19 Transportation Program funds have been allocated to public  
20 hydrogen-refueling infrastructure. This investment has  
21 been matched by \$92 million in funding from station  
22 developers. By the end of the Clean Transportation  
23 Program, which is currently scheduled to end on January  
24 1st, 2024, we expect to have spent \$252 million.

25           The future funding of \$86 million is so good for

1 through the most-recent solicitation where we released --  
2 called GFO-19-602, wherein we asked station developers to  
3 propose projects that would develop stations in batches  
4 over time as this funding becomes available. So we know  
5 that station developers are planning to match the future  
6 investment with \$99 million of their own funding, for a  
7 total of \$109 million in match funding for the overall  
8 station network. Next slide, please.

9           So how many stations do we have in the pipeline?  
10 So our total of 179 retail stations that we expect to open  
11 by the 2026 timeframe, 52 of which have already opened.  
12 Of the 179 stations, 156 will receive Clean Transportation  
13 Program funding. The private sector has announced plans  
14 to build 23 stations without public funding. And in fact  
15 two of these stations have already opened. We think that  
16 the station investment that the private sector is starting  
17 to make on their own is an indication of the success of  
18 the CEC's work and of the work done by our partner  
19 agencies, the California Air Resources Board.

20           While we at the CEC have worked to improve our  
21 grant solicitation process for station development, CARB  
22 has implemented the Low-Carbon Fuel Standard Hydrogen  
23 Refueling Infrastructure Program that provides station  
24 owners more certainty in their ability to generate LCFS  
25 credit. A main objective of both our efforts have been to

1 facilitate a self-sustaining market for station  
2 development.

3           So as you can see, the 179 planned stations fall  
4 short of reaching the 200-station goal established by  
5 Governor Brown, but we are looking to close this gap. We  
6 are also moving to fund infrastructure for medium- and  
7 heavy-duty fuel cell vehicles. And some of these planned  
8 public stations will be capable of also serving these  
9 larger vehicles. Additionally, we try to ensure stations  
10 are located in appropriate places, to provide the  
11 geographic coverage and fueling capacity needed to serve  
12 as many communities as possible, including disadvantaged  
13 communities. Eleven of the 52 open stations are located  
14 in disadvantaged communities. Next slide, please.

15           Perhaps more important than if a station is in a  
16 disadvantaged community is how well community residents  
17 can access the station. One way we evaluate access is by  
18 looking at the percentage of the population that can reach  
19 a station within a certain drive time. This drive time  
20 analysis is just one metric by which we can evaluate  
21 equity. And it is not to say that other metrics are not  
22 important. And Susan did a good job of describing in her  
23 presentation our overall larger effort to evaluate equity.  
24 But at least we know that by this one metric, the stations  
25 that we are supporting are of similar convenience in terms

1 of their locations to people living in disadvantaged  
2 communities as they are to the overall state population.

3 Next slide, please.

4 We have been focusing on awarding funding in  
5 such a way that will enable station developers to achieve  
6 economies of scale and reduce the costs of station  
7 equipment and to also support a much larger fuel cell  
8 electric vehicle market so that we can meet our zero-  
9 emission vehicle goals.

10 As I already mentioned, our most recent  
11 solicitation, GFO-19-602, was structured to reserve the  
12 \$20 million funding allocations of future years so station  
13 developers could plan future stations with confidence and  
14 achieve the scale needed to reduce the cost per station.  
15 We think we were pretty successful in achieving this and  
16 that the grant funding per station was lower in GFO-19-602  
17 than it was in the previous solicitation. And at the same  
18 time stations are continuing to have more fueling  
19 capacity, to be able to serve more vehicles each day.  
20 This cost-in-capacity relationship is shown in the figure  
21 in the upper right on the slide.

22 And on this slide there are also some images  
23 that indicate the way the physical layout of stations have  
24 evolved. In early stations there was typically one  
25 dispenser that was often located on the edge of a gasoline

1 station property. In future stations, some will have  
2 their own fueling canopy, kind of in the center of the  
3 station, and most will have two to four fueling hoses to  
4 be able to fuel vehicles simultaneously. Next slide,  
5 please.

6 Now I want to turn to how much hydrogen we're  
7 talking about in terms of what is needed to support the  
8 transportation market. We have been tracking the amount  
9 of hydrogen fuel dispensed in the California station  
10 network since stations first began opening in 2015. We  
11 receive dispensing data from most stations, which is shown  
12 in the dark blue in this figure. And for stations for  
13 which we did not receive data, we estimate dispensing,  
14 which is shown in the lighter-blue pattern.

15 You can see that daily dispensing was nearing  
16 4,000 kilograms per day at the end of 2019 and the  
17 beginning of 2020. To put this in perspective, passenger  
18 fuel cell electric vehicles have tank sizes of about five  
19 kilograms, and the average fill is a little bit over three  
20 kilograms. So this means that at the peak about a  
21 thousand fuel cell electric vehicles were filling on the  
22 system daily.

23 Covid-19 and lockdown orders led to a reduction  
24 in dispensing for much of 2020, but the most recent  
25 reports we have from station operators, not yet in this

1 figure, is that we understand daily dispensing is near  
2 prePandemic levels again.

3 I also want to mention the renewable-hydrogen  
4 requirements that exist for hydrogen. Senate Bill 1505 in  
5 2006 set a requirement that 33.3 percent of hydrogen  
6 dispensed from stations supported by State funding be  
7 renewable. And the Low-Carbon Fuel Standard Hydrogen  
8 Refueling Infrastructure Program requires that  
9 participating station owners maintain 40-percent renewable  
10 hydrogen across our stations. Because most stations  
11 participate in the Hydrogen Refueling Infrastructure  
12 Program and the CEC matched this requirement in our last  
13 solicitation, 40 percent is pretty much now the de facto  
14 requirement that station owners need to meet. Next slide,  
15 please.

16 The fueling we see on the network today is from  
17 a population of about 10,000 passenger fuel cell electric  
18 vehicles in the state. When all of the planned 179  
19 stations are open, we will have a network daily capacity  
20 of about 160,000 kilograms per day. This amount of  
21 hydrogen could support a population of about 230,000 fuel  
22 cell electric vehicles. So the station network we're  
23 building will be able to support many more fuel cell  
24 electric vehicles, which is important if we're going to be  
25 able to achieve that five million zero-emission vehicle

1 goal by 2030 and all new passenger car sales being zero  
2 emission by 2035. Next slide, please.

3 I'm concluding my presentation here and I am  
4 going to introduce my colleague Marc Perry who will talk  
5 about freight and transit investments. Next slide,  
6 please.

7 And take it away, Marc.

8 MR. PERRY: Thank you, Jane.

9 Good morning, everyone, Commissioner McAllister,  
10 Commissioner Monahan. My name is Marc Perry and I am a  
11 member of the Freight and Transit Unit of the Fuels and  
12 Transportation Division.

13 As we have heard before, California's economy if  
14 it were a sovereign nation would be fifth in the world,  
15 with a gross domestic product of more than \$3 trillion.  
16 Freight and transit vehicles are essential to the domestic  
17 goods movement, mass transportation, and international  
18 trade. On-road freight transportation is the backbone of  
19 the California economy -- no, go back to the other one,  
20 please. Thank you. On-road freight transportation is the  
21 backbone of the California economy, moving about 3.8  
22 million tons of goods up and down the state's highways  
23 daily. California transit systems are just as important  
24 to the economy as they provide a means for many to get to  
25 work. Next slide, please.

1           The trucks and buses, however, are some of the  
2 least fuel-efficient vehicles operating and are the worst  
3 polluters and emitters of greenhouse gases. Class 8  
4 trucks, the big rigs hauling large trailers through city  
5 streets and along the state's highways, are arguably the  
6 most visible sign of a healthy economy. They have a  
7 vehicle fuel economy of not even six miles per gallon.  
8 And while the freight transportation sector makes up only  
9 a small percentage of total vehicles on the road, it has a  
10 huge air quality impact on communities living and working  
11 near heavily-trafficked roadways. This sector is  
12 responsible for 26 percent of all state greenhouse gas  
13 emissions, 80 percent of all oxides of nitrogen emissions  
14 in the state, and 90 percent of all diesel particulate  
15 matter.

16           The communities living near these roadways are  
17 often disadvantaged and have seen medical consequences as  
18 a result of this pollution, as increased instances of  
19 asthma, cancers, emergency room visits, and  
20 hospitalizations, to name a few. Next slide, please.

21           California has put in place regulations and  
22 executive orders to advance clean transportation and clean  
23 up the state's freight and transit sectors. The  
24 Innovative Clean Transit Regulation mandates that all  
25 buses will be zero emission by 2040. The Advanced Clean

1 Trucks Regulation states that by 2045, all new truck  
2 purchases will be zero emission. And Governor Newsom's  
3 Executive Order N-79-20 stipulates that all the medium-  
4 and heavy-duty trucks and buses will be zero emission  
5 where feasible by 2045.

6 The combination of regulations, executive  
7 orders, and legislation send a strong policy signal that  
8 California is moving in the direction of medium- and  
9 heavy-duty zero emissions. Next slide, please.

10 One of the earliest pieces of legislation aimed  
11 at curbing tailpipe emissions was Assembly Bill 118, which  
12 created the Clean Transportation Program, formerly known  
13 as the Alternative and Renewable Fuel and Vehicle  
14 Technology Program. Assembly Bill 8 subsequently extended  
15 the Clean Transportation Program to January 2024.

16 Since 2009, the Clean Transportation Program has  
17 invested more than \$151 million in projects that build and  
18 repower trucks and buses to demonstrate the viability of  
19 near-zero and zero-emission medium- and heavy-duty  
20 vehicles and fueling infrastructure. Between 2014 and  
21 2018, the Energy Commission released four solicitations  
22 for advanced freight vehicle and Infrastructure projects.  
23 These solicitations awarded more than \$90 million to  
24 roughly 20 projects demonstrating advanced technology  
25 vehicles and infrastructure in the Ports of Los Angeles,

1 Long Beach, and San Diego. These projects would deploy  
2 several zero- and near-zero emission vehicles, including  
3 yard tractors, drayage trucks, gantry trains, pop  
4 handlers, and forklifts, as well as installing charging  
5 and fueling infrastructure for electric and hydrogen  
6 vehicles.

7           Prior to 2017, the Freight and Transit Unit was  
8 funding medium- and heavy-duty alternative fuel  
9 demonstrations and infrastructure projects, such as  
10 natural gas and battery-electric hybrids. As technologies  
11 advanced and policies were enacted, the Freight and  
12 Transit Unit shifted its focus to zero-emission vehicles  
13 and infrastructure, such as battery electric and hydrogen  
14 fuel cell. In 2017, after receiving input from  
15 stakeholders about the need to have chargers and hydrogen  
16 fuel stations funded by the program, the Freight and  
17 Transit Unit released two solicitations targeting  
18 infrastructure-only projects. Next slide, please.

19           From 2009 to 2021, the Freight and Transit Unit  
20 has progressed from funding demonstration projects and  
21 funding -- to funding pilot and deployment projects with  
22 commercially-available technologies. I'd like to  
23 highlight a few successful projects we've had. Next  
24 slide, please.

25           Transportation Power, Incorporated, or

1 TransPower, as it's more commonly known, -- sorry -- was  
2 awarded \$3 million in 2014 to build five new battery-  
3 electric yard tractors and demonstrate them in various  
4 locations throughout the Central Valley. These five yard  
5 tractors were used in harsh environments and performed  
6 better than TransPower had anticipated, so much so that  
7 the vehicle manufacturer officially created a line of  
8 battery-electric yard tractors using TransPower's motor  
9 system that was eligible for incentive vouchers through  
10 the California Air Resources Board's Hybrid and Zero-  
11 Emission Truck and Bus Voucher Incentive Program --  
12 Project, also known as HVIP. Next slide, please.

13           The Port of Long Beach was awarded \$9.7 million  
14 in 2016 for its Zero Emissions Terminal Equipment  
15 Transitions Project, and it is currently demonstrating six  
16 battery-electric yard tractors and four rubber-tire gantry  
17 cranes that were converted from conventional diesel power  
18 to all electric. Despite challenges from the Covid-19  
19 Pandemic, this project continues to progress. Next slide,  
20 please.

21           The City of Gardena's Zero-Emission Bus Repower  
22 Project was awarded \$2.7 million in 2015 to convert four  
23 transit busses from gasoline-electric hybrids to fully  
24 zero-emission battery-electric buses. The Gardena  
25 Municipal Bus Lines demonstrated the buses on routes

1 through disadvantaged communities for 12 months. And  
2 their effectiveness was such that Gardena has continued to  
3 expand its zero-emission fleet.

4           Understanding the goals of California and seeing  
5 there is going to be a big push towards converting  
6 California's existing and medium- and heavy-duty fleets,  
7 the Clean Transportation Program proposed a long-term  
8 focus on zero-emission vehicle infrastructure for trucks  
9 and buses. Beginning in 2019, the Freight and Transit  
10 Unit began drafting ideas and soliciting stakeholder  
11 feedback into future funding projects.

12           In 2020, in the midst of the Covid-19 Pandemic,  
13 the Freight and Transit Unit, consisting of six staff and  
14 a supervisor, and in collaboration and partnership with EV  
15 Infrastructure in the Fuels and Transportation Division,  
16 and the CEC's Energy Research and Development Division,  
17 was able to develop and release six grant funding  
18 opportunities or GFOs, totaling over \$100 million in  
19 funding for medium- and heavy-duty zero-emission vehicle  
20 fueling infrastructure.

21           In 2021 the team has been proposing awards and  
22 will be recommending approval of nearly 40 medium- and  
23 heavy-duty zero-emission planning and infrastructure  
24 projects at CEC business meetings. I'd like to highlight  
25 these recent funding opportunities and proposed awards.

1 Next slide, please.

2 First, GFO-20-601 proposed awards totaling  
3 nearly \$5.6 million to 28 public agencies, private  
4 companies, and nonprofits to create planning blueprints  
5 that will identify the actions and milestones needed for  
6 the implementation of medium- and heavy-duty zero-emission  
7 vehicles and their related electric charging and/or  
8 hydrogen-fueling infrastructure. In order to accelerate  
9 the deployment of those vehicles and infrastructure with a  
10 holistic, futuristic, and replicable view of  
11 transportation planning. Next slide, please.

12 GFO-20-602 proposed \$20 million in awards to  
13 Anaheim Transportation Network, the Los Angeles Department  
14 of Transportation, SunLine Transit, and North County  
15 Transit District for zero-emission fueling infrastructure  
16 needed to support the large-scale conversion of their  
17 diesel-transit fleet buses to battery electric or hydrogen  
18 fuel cell. Next slide, please.

19 GFO-20-603 awarded \$17 million and up to \$50  
20 million in block grant funding to CALSTART to design and  
21 implement the nation's first incentive project for zero-  
22 emission truck and bus charging and fueling infrastructure  
23 called EnergIIZE Commercial Vehicles. For reference,  
24 EnergIIZE stands for Energy Infrastructure Incentives for  
25 Zero-Emission Commercial Vehicles. Next slide, please.

1           For GFO-20-604, we partnered with our Energy  
2 Research and Development Division to propose funding for  
3 the demonstration of hydrogen rail and marine applications  
4 to ports. We were able to propose \$4 million in Clean  
5 Transportation Program funding to Shell Oil Products to  
6 develop the first multi-model hydrogen-refueling station  
7 in California. This hydrogen-refueling infrastructure  
8 will support a switcher locomotive awarded through the  
9 Research Division, in addition to on-road, heavy-duty  
10 hydrogen vehicles, which will reduce air pollution and  
11 greenhouse gas emissions. Next slide, please.

12           We partnered with our EV Infrastructure Unit for  
13 GFO-20-605, which proposed three awards for \$4.1 million  
14 to Momentum Dynamics Corporation's WattEV and Electrify  
15 Incorporated to demonstrate innovative electric-vehicle  
16 charging solutions for medium- and heavy-duty vehicles to  
17 accelerate the successful commercial deployment of those  
18 charging solutions. Much to my chagrin, I just noticed  
19 this morning that Electrify is not on this slide.  
20 Electrify's project is the Sacramento Electric School Bus  
21 Vehicle to Grid Integration Project, and it was awarded  
22 more than \$560,000. Next slide, please.

23           GFO-20-606 awarded \$44.1 million to South Coast  
24 Air Quality Management District and The Center for the  
25 Transportation and the Environment as part of the first

1 ever collaborative-funding opportunity between the  
2 California Energy Commission and the California Air  
3 Resources Board to fund the large-scale deployment of  
4 zero-emission Class 8 drayage and regional-haul trucks,  
5 and the necessary zero-emission funding -- fueling  
6 infrastructure needed for service operation. Twenty-four  
7 million dollars was available from CARB for the purchase  
8 of the trucks and \$20.1 million was available from the CEC  
9 for the purchase of charging and hydrogen-refueling  
10 infrastructure to support those trucks, in addition to  
11 workforce training and development. Next slide, please.

12           These are just some of the efforts the Freight  
13 and Transit Unit has been working on recently in relation  
14 to medium- and heavy-duty zero-emission infrastructure.  
15 Under our proposed Clean Transportation Program Investment  
16 Plan, we anticipated nearly \$115 million in funding for  
17 medium- and heavy-duty zero-emission vehicle  
18 infrastructure over the next two and a half years.

19 Earlier this month Governor Newsom approved the ZEV  
20 Infrastructure Package, which allocates over \$1 billion to  
21 the Energy Commission to fund zero-emission infrastructure  
22 projects over the next three years, some of which will be  
23 solely for medium- and heavy-duty infrastructure projects.

24           I encourage you to sign up to our Energy  
25 Commission list servers if you are not already, so you can

1 be kept up to date with agency information, upcoming  
2 workshops, and are notified when new grant funding  
3 opportunities are released. That is all I have for my  
4 presentation. If you have any questions after the  
5 conclusion of this meeting, please feel free to send me an  
6 email.

7 Up next is Hieu Nguyen with the Fuel Production  
8 Unit. Thank you.

9 MR. NGUYEN: Thank you, Marc.

10 Hello. My name is Hieu Nguyen, staff from our  
11 Advanced Fuel Production Unit of the Fuels and  
12 Transportation Division. Our unit directly supports the  
13 Clean Transportation Program's Alternative Fuel Production  
14 and Supply Category.

15 I'm here today to provide a general summary of  
16 the Biofuel Production Project. Next slide, please.

17 To date we have funded over 70 Advanced Fuel  
18 Production Projects throughout the state, including a  
19 number of ethanol projects, renewable diesel, and  
20 biodiesel projects, and a number of biomethane production  
21 projects that have utilized different technologies. More  
22 recently, we have funded two renewable hydrogen production  
23 projects. This brings our total funds awarded in this  
24 category to a little over \$200 million.

25 Program funds over this span have leveraged

1 about \$392 million in match share. This is close to a  
2 two-to-one match share leverage ratio. Next slide,  
3 please.

4           How has our Alternative Fuel Production and  
5 Supply Program evolved over time. From the introduction  
6 of this program, we have supported all fuel categories:  
7 Gasoline substitutes, diesel substitutes, and biomethane  
8 in all production scales. We had learned over the years  
9 to specialize our funding to help support the industry's  
10 needs from initially supporting the production of non  
11 corn-based ethanol and E85 refueling infrastructure to now  
12 supporting the production of low-carbon intensity bio base  
13 drop-in fuels.

14           With our ongoing support for commercial-scale  
15 fuel-production projects, in the past we have supported  
16 the following production stages: Last-scale or early-  
17 stage projects that promote transformative technologies;  
18 demonstration/pilot-scale projects that utilize novel  
19 commercial scale technologies in a first-time public  
20 demonstration to prove out the technology; and commercial-  
21 scale projects, which are projects that utilize  
22 commercially-proven technologies that focus on using  
23 locally-available feedstock supply and working to improve  
24 overall efficiency of biofuel production through the  
25 continued evaluation of how local resources are impacted

1 by increased production.

2           Additionally, by promoting the use of  
3 California-based feedstocks, the Energy Commission's  
4 contributions to the biofuels market has and continues to  
5 support the efforts to utilize California-based feedstocks  
6 that help the market become self-sustaining.

7           Wasted-based feedstocks, such as municipal and  
8 dairy waste, have played a significant role in  
9 contributing to several of California's emission-reduction  
10 policies. One example of this can be the increased use of  
11 forest biomass as a feedstock. Due to forest-management  
12 practices and more recently a bark beetle infestation, we  
13 have been dealing with an abundance of woody biomass that  
14 increases fire risk throughout the state. While  
15 strategies for how to dispose of the excess woody biomass  
16 are still being discussed, using it as a feedstock for  
17 biofuel production is still being explored.

18           In our most recent grant funding opportunity, we  
19 are requiring prospective projects to produce fuel with a  
20 final carbon intensity score of equal or less than 30  
21 grams of carbon dioxide equivalent per Megajoule. The  
22 hope is that the industry will be driven to provide a low  
23 or ultra low carbon alternatives for vehicle and  
24 transportation sectors that may be slow to switch to zero-  
25 emission vehicles. Based on data from the California Air

1 Resources Board Mobile Source Strategy Report, internal  
2 combustion vehicles will still consume about 1.2 billion  
3 gallons of liquid fuel in 2045, with the assumption that  
4 internal combustion engine vehicles will only represent a  
5 relatively small portion of the on-road fleet at this  
6 time, supporting the thought that there will be legacy  
7 fleets on the road for years to come. Sorry.

8           Lastly, we have recently expanded the program to  
9 include renewable hydrogen production and ultra low-carbon  
10 fuel blending, which I will talk more in a future slide.  
11 Next slide, please.

12           Moving forward, the Energy Commission's Clean  
13 Transportation Program is looking to evolve with the  
14 market as it provides funding in two new areas. Next  
15 slide, please.

16           The opportunities I wanted to highlight are two  
17 currently open solicitations for the total of \$15 million  
18 for additional renewable hydrogen production and  
19 commercial-scale fuel production and fuel blending of  
20 renewable diesel and biodiesel. The first opportunity is  
21 GFO-20-609, the Renewable Hydrogen Transportation and Fuel  
22 Production Solicitation. The focus of this opportunity is  
23 to expand California's instate production of hydrogen as a  
24 transportation fuel by supporting projects that increased  
25 their production capacity by 1,000 kilograms a day of 100-

1 percent renewable hydrogen.

2           As the Energy Commission aims to increase focus  
3 on expansion -- on expansion on the use of hydrogen and  
4 increase hydrogen-infrastructure accessibility, increased  
5 in-state renewable fuel production will support expansion  
6 efforts which is especially important in the medium- and  
7 heavy-duty vehicle sectors. Next slide, please.

8           The second opportunity is GFO-29-608, the Ultra-  
9 Low-Carbon Fuel Commercial-Scale Production Facility and  
10 Blending Infrastructure Solicitation. This solicitation  
11 directly supports the expansion of in-state commercial-  
12 scale low-carbon fuel production. A portion of the  
13 available funding will support commercial-scale low-CARB  
14 and fuel blending, which provide critical infrastructure  
15 in the state with the distribution of a low-carbon  
16 renewable bio-based diesel fuel blend that we anticipate  
17 usage of this fuel would grow exponentially in the next  
18 few years.

19           Furthermore, we will continue to support  
20 increased in-state production of other low-carbon fuels  
21 that can contribute to the California climate change and  
22 emission-reduction goals. Additional funding will become  
23 available in the next few years and as well as evolving  
24 policies and programs will help provide guidance on where  
25 this fuel -- this funding should be directed in regards to

1 biofuels. Next slide, please.

2           So now I will provide an overview of projects  
3 that the Clean Transportation Program has funded over the  
4 years, to highlight the various opportunities and benefits  
5 associated with biofuel production in California. Next  
6 slide, please.

7           One of the program's first larger-scale projects  
8 was with CR&R. CR&R is a large waste and recycling firm  
9 serving 2.5 million customers and 40 municipalities in  
10 Southern California. Managing approximately 1.5 million  
11 tons of solid food waste -- waste per year, biodegradable  
12 materials that are separated from the balance of the waste  
13 stream are pumped into a two-stage anaerobic digestion  
14 system to produce a biogas that is then cleaned and  
15 injected into the natural gas pipeline. And it is also  
16 used to fuel waste management refuse trucks in the region.

17           This project is the first of its kind in  
18 California to successfully connect to and inject renewable  
19 natural gas that meets the pipeline quality standard into  
20 the natural gas pipeline network. Next slide, please.

21           Next we have the Rialto Bioenergy Facility  
22 project that is currently in the third phase of  
23 development. This project with energy -- energy initially  
24 consists of the revitalization of a closed facility. And  
25 over the past several years, they have started working on

1 the expansion. This new expansion will process up to,  
2 well, an additional 300 tons of food and organic waste  
3 sourced from the local community, and inject that  
4 renewable natural gas into the SoCal Utility pipeline for  
5 transportation use. Next slide, please.

6           Lastly, we have the Five Points Pipeline  
7 Project. Dairy manure that are left untreated are a major  
8 source of methane emissions in the Central Valley. This  
9 dairy farm cluster project proposes to reduce emissions  
10 from dairy farm operations to produce a very carbon-  
11 negative intensity fuel. The purpose of this project is  
12 to design, build, and commission a biogas-conditioning  
13 facility in Fresno County. The project will also collect  
14 biogas captured from surrounding local dairy digesters and  
15 transport the gas through a private, low-pressure pipeline  
16 to the gas-upgrading facility. The finished fuel will be  
17 then injected into the PG&E utility pipeline for transport  
18 to new and existing CNG stations in the Central Valley.

19 Next slide.

20           This concludes my presentation. Now we turn the  
21 presentation over to my fellow colleague Jonathan  
22 Bobadilla, who will discuss about our manufacturing  
23 investments for the program.

24           MR. BOBADILLA: Thank you.

25           Good morning. My names Jonathan Bobadilla,

1 Energy Commission Specialist for the Fuels and  
2 Transportation Division. And I will be presenting on  
3 manufacturing investments made by the Clean Transportation  
4 Program. Next slide.

5           The California Energy Commission under the Clean  
6 Transportation Program has valued the development of  
7 advanced vehicle manufacturing and the emerging supply  
8 chain. Since the inception of the program, five  
9 manufacturing solicitations have been issued for a  
10 portfolio of 27 projects valued at over \$55 million. Each  
11 of these solicitations had been over subscribed.  
12 Portfolio companies include Proterra, ChargePoint, Motiv,  
13 Zero Motorcycles, FreeWire Technologies, Cummins Electric,  
14 and more. Commercial products include vertically-  
15 integrated transit buses, electric vehicle supply  
16 apartment, electric motorcycles, power trains, battery-  
17 control systems, and services, to name a few. Next slide.

18           I'd like to highlight the incredible resilience  
19 these companies showed during the height of the Pandemic.  
20 When lockdowns were in effect and countless businesses  
21 started to close, our manufacturing partners were able to  
22 be designated as essential businesses and not only  
23 continue operating but doing so safely.

24           For 2020 and 2021, the CEC received no reports  
25 from any of our manufacturing partners that they had to

1 end operations due to the Pandemic. On the contrary, many  
2 of manufacturing partners continued to improve their  
3 capability and capacity by 20 to 100 percent in some of  
4 their key EVSE manufacturing areas, while adding new  
5 production lines here in California. Our manufacturing  
6 partners were able to continue deploying ZEV products to  
7 their customers, thus reducing supply chain shocks that we  
8 read about in so many other industries. Next slide.

9           Our manufacturing partners through factory  
10 layout changes and embracing telework where feasible were  
11 able to keep their California teams intact. ChargePoint,  
12 for example, was able to preserve over 40 California-based  
13 team members by making these kinds of changes.  
14 TransPower, through their acquisition by Maritor, Inc.,  
15 was able to almost double the amount of full-time and  
16 temporary jobs at their manufacturing facility near San  
17 Diego during the term of our last manufacturing agreement.

18           Everyone from software design engineers to  
19 sheetmetal fabrication technicians were able to join in  
20 good-paying ZEV-related jobs. And in December of 2020,  
21 Proterra also opened a new battery-production line in the  
22 City of Industry, California. Once at capacity, this new  
23 manufacturing facility will create dozens of new jobs in  
24 Los Angeles County, including more than two dozen  
25 positions represented by the United States Steelworkers

1 Local 674. Next slide.

2 And as of June 2021, zero-emission vehicles were  
3 California's number one export, valued at \$5.6 billion.  
4 The ZEV market is growing rapidly and this year two of our  
5 manufacturing partners, Proterra and ChargePoint, became  
6 publicly-traded companies with a combined market  
7 capitalization of approximately \$10.7 billion. Large OEMs  
8 are taking notice and coming to California to be part of  
9 the ZEV market.

10 For example, Maritor and Cummins, two large  
11 vehicle OEMs, acquired TransPower and Efficient Drive  
12 Train, respectfully. OEMs are looking to California for  
13 their electrification strategy. And Californians get the  
14 benefit of the supply chain experience and the resources  
15 these companies bring.

16 We also want to continue fostering in-state  
17 partnerships like the ChargePoint and San Francisco  
18 Municipal Transportation Agency partnership that will help  
19 bring fast charging to their growing number of battery-  
20 electric bus fleets. These partnerships, along with  
21 aligning CEC manufacturing investments with Go Biz, sales  
22 tax exclusion, vocational training programs, and others,  
23 will help ensure that Californians have the best access to  
24 high-quality manufacturing jobs.

25 Thank you for listening to my presentation. And

1 with that, I will turn it over to Larry Rillera. Thank  
2 you.

3 MR. RILLERA: Great. Thank you, Jonathan.  
4 Appreciate that.

5 Good morning, everyone. My name is Larry  
6 Rillera and I lead our team in investments for ZEV  
7 manufacturing, workforce, and equity. I will be providing  
8 an overview of some of our investments and forward-  
9 thinking thoughts in the workforce training and  
10 development space for the Clean Transportation Program.  
11 Next slide, please. Sorry about that.

12 At the inception of the program, the emphasis by  
13 the State was on green collar jobs. The primary focus was  
14 on jobs and training for solar panel installation. The  
15 Green Collar Jobs Initiative eventually broadened this  
16 focus to include alternative fuel and advanced vehicle  
17 technology. At the CEC, the strategy was to leverage the  
18 administrative mechanisms and workforce training and  
19 development knowledge of our sister state agencies, like  
20 the Employment Training Panel.

21 In the evolution of the Clean Transportation  
22 Program's Workforce Program, new partnerships, with the  
23 California community colleges, and new projects, like the  
24 Transit Maintenance Training Apprenticeship, were early  
25 contributors to staff knowledge and capacity. These

1 efforts also helped cultivate new thinking and community-  
2 based and industry-based concepts for workforce  
3 development in the advanced and clean transportation  
4 space. Next slide, please.

5           Fast forward 13 years, \$36 million, and 20,000  
6 plus trainees, and we have the five current projects noted  
7 here. Bottom-line drivers of these new workforce efforts  
8 include: Specific market and technology-based  
9 application, a need to pair early technology deployments  
10 with training, a need to reach earlier into career  
11 transportation pathways at our high schools; deep policies  
12 and investments in ZEV and equipment; and an exploration  
13 of training at scale in the heavy-duty truck and  
14 performance spectrum in the freight sector.

15           The other significant maturation of the  
16 workforce portfolio is on full and intentional investments  
17 and opportunities for frontline and equity communities.  
18 This commitment was addressed in the starting of new ZEV  
19 curriculum for certificate and degree programs with the  
20 California community colleges and training for electric  
21 school bus technicians and operators as a companion  
22 project to the CEC's \$94 million plus school bus  
23 replacement program that prioritized awards for schools  
24 located in disadvantaged and low-income communities. Next  
25 slide, please.

1           One particular highlight I would like to draw  
2 your attention is to our ZEV High School Pilot Program.  
3 The CEC worked with at least 10 community colleges to  
4 identify feeder high schools with automotive career  
5 technology education programs. The thinking was to  
6 establish ZEV curriculum, develop hands-on experience  
7 building an EV, and provide a launching point into ZEV  
8 career education at the colleges, and, finally, to  
9 position the students for careers in the technician space,  
10 business ownership in the ZEV supply chain, or preserve  
11 further clean transportation education.

12           A \$2 million investment has yielded the  
13 participation of 28 high schools, over 1800 students have  
14 been enrolled, and over 36 high school and college faculty  
15 have been trained to date. Because of the explosion in  
16 the need for ZEV service technicians, the CEC augmented  
17 this program by another \$1.5 million. Additionally, the  
18 program will not only grow ZEV automotive programs, but  
19 will also establish brand new ZEV truck programs.

20           Consistent with my earlier comments on  
21 investments and equity communities, this program, 100  
22 percent of the funds are used by schools located in these  
23 very communities. Next slide, please. Thank you.

24           The field of zero-emission vehicle technology is  
25 very dynamic. There is no shortage of learning and new

1 awakening especially in the workforce space. The Clean  
2 Transportation Program staff participates in many  
3 proceedings; keeps abreast of reports and industry  
4 analysis; and has discussions with industry, market, and  
5 business regarding trends and issues in this workforce  
6 space. Collectively, these policy efforts and market  
7 development inform the development and recommendation for  
8 funding to achieve clean transportation, economic and  
9 employment objectives. Next slide, please.

10                 So what lies ahead for workforce. Earlier this  
11 year, staff announced a workforce funding concept in  
12 partnership with the California Air Resources Board. The  
13 idea ZEV workforce: Inclusion, diversity, equity access,  
14 and local, is the next logical workforce investment by the  
15 CEC, especially with CARB a project partner. The ideas of  
16 the ZEV workforce pilot focuses investments on: ZEV  
17 training and skills development, supports community-based  
18 training and career transportation pathway development,  
19 intentionally includes and expands training to frontline  
20 equity and tribal communities, and requires an explicit  
21 connection between training and employment. The  
22 solicitation is expected to be released this summer. Next  
23 slide, please.

24                 Great. Thank you. And I look forward to  
25 participating with you in the rest of this workshop.

1 MS. RAITT: Thanks, Larry.

2 So, Commissioners, if you have any questions for  
3 staff, we can do that now. And also I just wanted to let  
4 you know that we also have Hannon Rasool, who is the FTD  
5 Deputy Director available; and Tami Hass, who is the  
6 Supervisor for the Program Integration Unit; and Charles  
7 Smith, the Manager of the Transportation Policy Analysis  
8 Office, available to help address any questions.

9 COMMISSIONER MONAHAN: Well, I can start. A  
10 question, I don't really have a question but I do have a  
11 comment. I just want to thank Susan and Jane, Thanh,  
12 Marc, Hieu, Jonathan, and Larry for their presentations  
13 today, and actually the whole team of the Fuel and  
14 Transportation Division for all their work in this space.  
15 I mean it was really impressive to see and kind of the  
16 who's who of successful projects in the Clean  
17 Transportation Program.

18 I want to highlight one of the remarks that Marc  
19 made about CARB and CEC working together on a drayage  
20 truck solicitation. Those are the kinds of projects --  
21 and Larry also mentioned some collaboration on the ideal  
22 workforce investment -- that, you know, we really want to  
23 go forward with as one state, not individual agencies with  
24 all their bureaucracies. And I think these are examples  
25 of ways that we're working closely with CARB. They are

1 focusing more on the vehicle side. The Energy Commission  
2 is focusing more on the infrastructure, tool side. And  
3 just working together to make sure that we can do all we  
4 can to meet the State goals for clean transportation.

5           And you know there was also I think both Jane  
6 and Thanh mentioned that there is a gap between what our  
7 goals are for infrastructure for zero-emission vehicles  
8 for both hydrogen and battery plug-in electric vehicles.  
9 And the most recent budget that was signed will -- should  
10 fill that gap -- I mean it should not just fill that gap,  
11 we should actually be able to accelerate investments to  
12 beyond just the gap that we're identifying in the  
13 infrastructure side for our 2025 goal.

14           So I do think, you know, these descriptions are  
15 really super helpful in terms of bringing to life how  
16 these investments are helping real people, real companies,  
17 you know, get cleaner air through cleaner transportation.  
18 And I think you will note that these were all descriptive,  
19 so they're not numerical in terms of dollar invested  
20 greenhouse gas emission output. And I think we need to  
21 marry this kind of description of impacts with the  
22 numerical.

23           And, as I said before, the numerical can be  
24 challenging, so. But we do want to hold ourselves  
25 accountable to, you know, thinking about this in terms of

1 how do we really -- how do we really promote equity, how  
2 do we really promote an efficient use of dollars invested  
3 per GHG ton reduced. And we need to think about this in a  
4 really holistic way. So I do think it's impressive to see  
5 how the team has evolved with team and how we are now, I  
6 think, our attention to equity is greater than ever  
7 before.

8           And Larry didn't talk about this but some of the  
9 work that he and others are leading in terms of how to  
10 better define what a benefit is to a community, to a  
11 disadvantaged and low-income community, and then how do we  
12 hold ourselves and are accountable to making sure that we  
13 are supporting all Californians in our investment.

14           So more of a commentary than a question.

15           Commissioner McAllister, do you have any  
16 questions? I'm so close to this work with the Fuels and  
17 Transportation Division, I'd be curious to hear your  
18 thoughts.

19           (Pause in the proceedings.)

20           COMMISSIONER MONAHAN: Heather, is Commissioner  
21 McAllister still here or did he have to pop off?

22           MS. RAITT: Just checking that. I think he is  
23 still here but he may not be available at the moment.

24           COMMISSIONER MONAHAN: Okay. Then I think we  
25 could move onto the NREL presentation.

1 MS. RAITT: So thank you, everybody, on the CEC  
2 staff. That was great.

3 So we'll move onto -- we have a presentation on  
4 the -- from the NREL, National Renewable Energy Lab. And  
5 so we have Chad Hunter, who is the Team Lead and Senior  
6 Engineer; and Christopher Neuman, who is a Senior Research  
7 Engineer; Ranjit Desai, who is a doctoral researcher; and  
8 Madeline Gilleran, who is a research engineer. And so  
9 they will be doing a tag-team presentation. And I will go  
10 ahead and pass it off to Chad.

11 Go ahead. Thanks, Chad.

12 MR. HUNTER: Okay. Thank you.

13 Great. So good morning and good afternoon,  
14 everyone. So my name is Chad Hunter. I'm a Team Lead at  
15 the NREL Center for Integrated Mobility Sciences, and I  
16 will be presenting the CC -- CTP benefits analysis. So,  
17 Commissioner Monahan, that quantitative benefit analysis  
18 that we have done. And I will be presenting that with my  
19 team, Chris Neuman, Maddy Gilleran, and Ranjit Desai here  
20 at NREL. Next slide.

21 For the presentation, we'll start with a quick  
22 overview of the benefits analysis, provide some history  
23 there. Then we'll talk through some of the major method  
24 updates that we have made this -- this year in this  
25 iteration. And then we'll jump into the results, which

1 we've probably broken down into expected benefits and the  
2 market transformation benefit. And I will define each of  
3 those in the following slid. Next slide.

4           So the quick recap. So NREL was contracted in  
5 2012 to assess the annual benefits of the CTP program.  
6 And, broadly speaking, we break down the benefits into two  
7 different buckets: Expected benefits and market  
8 transformation benefits. And then within each of those  
9 buckets we look at a variety of different metrics, which  
10 includes petroleum reduction, GHG reduction, as well as  
11 air pollutants such as NOx and PM2.5.

12           The expected benefits can be thought of those  
13 that are directly associated with the vehicles and fuels  
14 deployed through projects receiving CTP funds. So you can  
15 think of that as an electric vehicle, a display thing, a  
16 mile traveled by a conventional vehicle. And so there's a  
17 petroleum reduction and a GHG benefit for every mile  
18 that's electrified.

19           Market transformation benefits are a little bit  
20 squishier and harder to quantify. But those are really  
21 due to the influence of CTP investment on -- the influence  
22 of the investment on future market conditions that  
23 accelerate the adoption of new technologies. And one way  
24 to think about that, for example, is as you install EVSE  
25 infrastructure across the state of California, the

1 perceived value of that valued electric vehicle is  
2 increased, and so more people are willing to purchase that  
3 vehicle and so there's benefits accruing because of those  
4 induced vehicle sales.

5           And just a quick note that this analysis does  
6 not attempt to allocate benefits of these projects  
7 according to the different funding mechanisms, whether it  
8 came from CEC's CTP funding or if it was also impacted by  
9 the CARB's LCFS program or federal tax incentives.  
10 Rather, this analysis currently is estimating the  
11 potential benefits of any project that is CEC CTP project  
12 funded support. Next slide.

13           At a high level, we calculate the benefits of  
14 different projects a little bit differently, depending on  
15 the type of project that it is. So fueling-infrastructure  
16 projects and vehicle projects and fuel-production projects  
17 all are accounted for a little bit differently within our  
18 analysis framework. In the middle of the slide you can  
19 see a very simplified data flow of the types of data that  
20 we take in and the outputs that come out of our analysis.

21           At a high level, some of the information that  
22 comes in from the CEC CTP portfolio include the funding of  
23 the different projects, as well as project attributes,  
24 such as fuel or infrastructure through-put, fuel lifecycle  
25 carbon intensity, project lifetime and maybe vehicle type.

1 That all feeds into our analysis framework, which includes  
2 a variety of stock modeling, vehicle-adoption modeling,  
3 and emissions accounting. And then, again, the output is  
4 a benefit by metric. So whether it's petroleum  
5 reductions, emissions reductions, or even equity and  
6 social benefits, we account for all those across these  
7 different project types and categories. Next slide.

8 This is just a snapshot of kind of what the  
9 analysis has looked at in the past and what it's looking  
10 at this current year. And, in particular, we have had a  
11 push to improve some of the market transformation  
12 calculation and focus on improving our NOx and PM2.5  
13 emission calculations within the market transformation  
14 bucket.

15 Additionally, we have improved our lens on  
16 equity to focus on both fueling infrastructure and  
17 vehicles project through a variety of special  
18 disaggregation techniques, which we'll discuss later. And  
19 then we have also looked at the job creation from CTP  
20 investments. And so we'll talk about that new method and  
21 the impact that had on future slides as well. Next slide.

22 And with that, I will pass it off to Chris to  
23 talk to some of the method updates that we have improved  
24 this year. Next slide.

25 MR. NEUMAN: Hi. So the first method update

1 that we're going to talk about is the ETL, or Extract  
2 Transform & Load. And this is where we take the data that  
3 the CEC provides and we have turned it into a more  
4 database-friendly format.

5 One of the first we have updated is demonstrated  
6 through-puts. So through-putter usage has been updated  
7 with guidance to rely more on the measure of usage rather  
8 than in an assumed funded production. And this also  
9 includes the annualization of the observed production.

10 The CALeVIP inclusion is a bit new too. So not  
11 only including the built stations but also of the  
12 expected. So the nonplanned rebated funding has been  
13 included with the following assumptions. Rebate money was  
14 allocated. It was allocated but not currently spent. It  
15 was used to determine how many EVCS would be established  
16 with the remaining funds.

17 The new stations were randomly distributed to  
18 locations proportional to the geographic distribution of  
19 current locations. The rollout was done in a linear  
20 fashion, so the expectation is that it will be linear from  
21 the start of the project to near the end. And the  
22 distribution of Level 2 charging versus DCFC mirrors the  
23 historical breakdown between the two levels. Next slide,  
24 please.

25 I will be handing it off to Ranjit.

1 MR. DESAI: Thanks, Chris.

2 So in this slide we are going to look at like  
3 the EV station utilization. So necessarily what we're  
4 looking at are the electric miles. By electric miles, we  
5 mean the miles you -- everyone buy the electric rate  
6 because using the public charging stations. So until 2020  
7 we used to use the EVI-Pro model, which we have at NREL,  
8 the estimate the utilizing of charging stations. This  
9 year, we have changed a little bit where at NREL we have  
10 the dataset from charging stations in California, so we  
11 estimate for like Level 2 we all one million charging  
12 stations, for DC we have four million charging stations.  
13 And from there we estimate the kilowatt output per day  
14 from the public charging stations only. So, as you can  
15 see the situation, we have the Level 2 and DC chargers and  
16 the number of chargers. And then we use the electric  
17 miles estimated from like these charging stations to  
18 estimate the electric miles a day for annual, for one  
19 year.

20 This will be used for like, you know, estimating  
21 to benefits from electric vehicles. A possible update, we  
22 are looking at is like, you know, separating out these  
23 public charging stations with respect to the land use  
24 type. For example, a public charging station versus a  
25 multi-dwelling household, etc. Next slide, please.

1           This slide shows two different projections. On  
2 the left-hand side, we have the projections of utilization  
3 from these public charging stations. On the right side,  
4 we have the grid intensity for California. So the  
5 utilization for charging stations, we use the EVI-Pro  
6 model here, assuming that the DC fast chargers stays at  
7 fifty kilo watt and what happens in the future with  
8 respect to the utilization.

9           And then, as use is increasing, we are also  
10 looking at what happens on the grid side. On the part of  
11 the grid side, we use the NREL's Cambium dataset where we  
12 have the hourly electrical production data. And from  
13 there we can find out the grid intensity and gram of CO2  
14 per mega use of electrical production. So we use one  
15 scenario in this case. That is the mega case scenario and  
16 estimate the decreasing carbon intensity. And using these  
17 two projects, since we estimate the benefits are to  
18 electrical vehicles. Next slide, please.

19           MR. HUNTER: Thanks, Ranjit.

20           And so similar to the EVSE infrastructure, we  
21 wanted to update the way that we were counting for  
22 hydrogen-refueling station benefits. And so, broadly  
23 speaking, we take hydrogen-refueling stations, calculate  
24 basically how much hydrogen is going through those  
25 stations into the vehicles and then compute how many miles

1 are being driven by fuel cell electric vehicles instead of  
2 combustion or internal combustion engine vehicles, and  
3 then it can account for the benefits there.

4           And so in the past we have broadly used a five-  
5 year ramp-up for hydrogen-refueling stations basically  
6 between completing the station to getting to a utilization  
7 plateau that we had assumed was 80 percent utilization of  
8 that station. But for this analysis, we have updated that  
9 plateau to be closer to 45-percent utilization based on  
10 the station's nameplate capacity. And that's based on the  
11 data kind of shown here to the left, which is real world  
12 data from the State of California.

13           Additionally, as you saw with the EVSE  
14 infrastructure accounting for the grid getting greener  
15 over time is important. Similarly, accounting for  
16 hydrogen, carbon intensities, improving over time is also  
17 important. And so we have incorporated that into our  
18 analysis to account for respectively the carbon intensity  
19 of hydrogen, if that does go down over time, we account  
20 for the benefits of that, and we use the project proposals  
21 to define kind of that trajectory of carbon intensity for  
22 the hydrogen fuel pathways. Next slide.

23           MS. GILLERAN: Great. And then -- can everyone  
24 hear me okay? Great. So in understanding the equity  
25 portion of this project and also the social benefits, it

1 was important to understand where the benefits were  
2 occurring. So for projects from CEC where we understood  
3 to some extent where the benefits could be occurring, such  
4 as for the refueling infrastructure or the vehicles-  
5 related projects, we calculated where those benefits were  
6 occurring two separate ways.

7           So for the fueling infrastructure projects we  
8 used the geo spatial information from where the EV  
9 stations and hydrogen stations were, and assumed the  
10 majority of the benefits would occur in the vicinity of  
11 those stations. And then regarding the vehicles-related  
12 projects from CEC, we used NREL internal Class 8 fully  
13 truck travel data, where we had the emphasis of where  
14 trucks were at each hour. And we assumed that there was a  
15 higher penetration -- where there was a higher penetration  
16 of truck instances was where there were greater benefits  
17 in that area, if those trucks use alternative fuels. So  
18 we use these two approaches and aggregated up where the  
19 benefits were occurring to the census tract and then  
20 overlay that data with the CalEnviroScreen Draft Version  
21 of 4.0 to see if those benefits were occurring in  
22 disadvantaged communities.

23           Now I will hand it back to Chad to talk about  
24 the jobs creation benefits.

25           MR. HUNTER: Thanks, Maddy.

1           Next slide. So as mentioned before, this year  
2 is the first time we wanted to estimate the job creation  
3 impact due to CEC's CTP investments. And so we have  
4 leveraged the IMPLAN model, which is the Economic Impact  
5 Analysis for Planning models, to quantify the direct,  
6 indirect, and induced job creation from CEC's CTP  
7 investments. And so kind of inputs into that model  
8 include CEC investment as well as match investment. And  
9 we break that investment down according to the industry  
10 sector that it is most applicable for and then we put that  
11 into IMPLAN.

12           And what IMPLAN basically does is it says, okay,  
13 here is the direct investment of that -- of that funding.  
14 And then it also looks at, okay, what funding stays in the  
15 state of California, what leaves due to imports. And then  
16 for the stuff that stays within the state of California,  
17 those goods and services, how does that ripple through the  
18 economy to do either business-to-business transactions or  
19 also turns into income for individuals, which then goes  
20 back into other businesses' transactions.

21           And so the output of IMPLAN is effectively the  
22 direct, indirect, and induced jobs that are created. And  
23 we summarize that in the following slide. Next slide.

24           MR. NEUMAN: So in market transformation there  
25 is an enhancement as well of the EVSE willingness to pay

1 for WTP. The update is to move to the Greene, et al.,  
2 "Quantifying Tangible Value of Public Electric Vehicle  
3 Infrastructure" analysis. The past method was less multi-  
4 dimensional and mostly focused on the difference between  
5 charging stations and current, existing petrol fueling  
6 infrastructure. So you can see the update on the left has  
7 moved for PHEVs to the upper right graph and for BEVs,  
8 battery electric vehicles, to the lower right. Next  
9 slide, please.

10 So the move from the perceived value to the  
11 willingness-to-pay method comes with many enhancements.  
12 Willingness to pay includes new factors. So the plug-in  
13 electric vehicle fleet average range, so the impact as the  
14 range gets further, how much people value charging  
15 infrastructure. The value of the time, so how fast you  
16 can charge, Level 2 versus DCFC. The value of local  
17 charging versus regional, to travel between major cities.  
18 Moving from the gas station mode to a comparison of -- to  
19 fully electrified mode, so how much electrification you  
20 would need to fully electrify all vehicles.

21 One of the assumptions that was key as well is  
22 that when public charging, fast charging, DCFC, is  
23 expected to be the infrastructure of choice 80 percent of  
24 the time, and at the bottom you can see the accumulated  
25 benefits year over year for battery electric vehicles and

1 plug-in electric hybrid electric vehicles by the  
2 California major urban areas. Next slide, please.

3 MR. HUNTER: Thanks.

4 Additionally, within the market transformation  
5 calculations, we made a couple other general updates that  
6 we wanted to point out. First, we're using -- and moving  
7 over to NREL's SERA stock model, so that's the Scenario  
8 Evaluation and Regionalization Analysis model, it's a long  
9 name there, but effectively that stock model comes with a  
10 variety of benefits. And we calibrated that to the Air  
11 Resources Board's California Vision 2.1 model, so it  
12 represents the California stock quite well.

13 And the market transformation benefits within  
14 the SERA model are now implemented on a rolling schedule,  
15 which account for that continued CTP investment over time.  
16 So as Chris just showed, as infrastructure investment  
17 occurs over time, we can more accurately reflect both the  
18 marginal benefit of that investment occurring at each year  
19 throughout the analysis timeframe.

20 And, additionally, we made a couple data updates  
21 that has pretty large impacts on some of the results in  
22 compare with previous years. So, for example, using the  
23 California Vision 2.1 data as the base market share for  
24 vehicle adoption modeling, as well as updating our  
25 purchase price projections for alternative powertrain

1 vehicles based on CEC Energy Assessment Division data.  
2 And, again, that really comes into play when you're  
3 thinking about how much does an electric vehicle cost  
4 versus a conventional vehicle. That price premium or  
5 price advantage really impacts the relative likelihood of  
6 people adopting that vehicle. And so these have pretty  
7 big impacts on the vehicle adoption modeling and some of  
8 the results. We do want to point that out here. Next  
9 slide.

10 All right. So with that we covered some of the  
11 methodological updates for the expected benefits piece,  
12 and then the methodological updates for the market  
13 transformation analysis. And now we'll jump into the  
14 results first focusing on the expected benefits results.  
15 Next slide.

16 MR. NEUMAN: All right. Thank you, Chad.

17 So the project funding summary, from the pie  
18 chart -- pie chart here perspective, but the \$934 million  
19 accounted for versus \$671 million in the 2019 Benefits  
20 Report, you can see the breakdown of the major categories,  
21 and then the subcategories are outlined here in the  
22 funding provided. Next slide.

23 So the expected benefits from fuel production,  
24 the method was petroleum reduction and GHG emission  
25 benefits accrue because of the alternative fuels directly

1 -- when the alternative fuels directly displace  
2 conventional fuels. We resolve -- all fuel production  
3 types provides substantial petroleum reduction, and the  
4 reduction ramps up over time as fuel-production projects  
5 achieve their target performance. Next slide, please.

6           So here you can see a further breakdown in the  
7 fuel-infrastructure area. The method is fuel production  
8 at the refueling station as refueling stations are  
9 converted to an estimate of how many conventional vehicle  
10 miles were displaced. Petroleum reduction and emissions  
11 benefits accrue because the low-emission vehicle is driven  
12 instead of the conventional vehicle, so the conventional  
13 vehicles are being replaced and production continues.

14           The results: Electric vehicle charger benefits  
15 significantly higher than the previous analysis due to  
16 updated miles and grid-carbon intensity account.  
17 Hydrogen projects, as mentioned in earlier CEC staff  
18 presentations, have benefitted due to the new GFO-19-602,  
19 supporting larger and expanded stations as well. Next  
20 slide.

21           Expected benefits for vehicles, petroleum  
22 reduction and emission benefits accrue because the low-  
23 emission vehicle is driven instead of the conventional  
24 vehicle. Manufacturing and project benefits were moved in  
25 this iteration to market transformation benefits, and this

1 had to do with them fitting better in that area.

2 Natural gas trucks results provided significant  
3 petroleum reduction due to displacement of commercial  
4 vehicles with high diesel fuel consumptions. And GHG  
5 reduction is nominated by vehicle price rebates due to  
6 higher powertrain efficiency and lower-carbon intensity  
7 electricity. Next slide, please.

8 So the expected benefits for me -- sorry -- the  
9 total benefits are shown here into total petroleum  
10 reduction and GHG reduction. And the fuel production and  
11 fueling infrastructure projects result in the largest  
12 petroleum reduction and GHG reduction benefits. Vehicle  
13 projects historically were dominated by a manufacturing  
14 project, but were accounted for as market transformation  
15 benefits for this work.

16 Over 200 million gallons of petroleum reduction  
17 and 2.5 million tons of GHG emissions are reduced in 2030.  
18 Next slide, please.

19 And here you can see the tabular breakdown of  
20 all the categories, subcategories. And over here for each  
21 year, not cumulative, and then the grand total up here.  
22 Next slide, please.

23 MS. GILLERAN: Thank you, Chris.

24 So regarding the results for the equity  
25 analysis, again we combined that Approach Number 1, which

1 was looking at where the fueling stations were occurring,  
2 and also Approach Number 2, which we looked at vehicle  
3 travel data to aggregate up the benefits by each census  
4 tract and then overlaid that with the CalEnviroScreen  
5 results, finding that when we especially disaggregate the  
6 benefits, we find that 40 percent of reductions happen in  
7 disadvantaged communities. And then if you go to the next  
8 slide.

9           And then in order to estimate the social  
10 benefits or the public health benefits in each census  
11 tract, we use the EASUIR model, which was developed by  
12 Carnegie Mellon University. And EASUIR stands for:  
13 Estimating Air Pollution Social Impact Using Regression.  
14 And so EASUIR estimates the social cost of emissions in  
15 the United States geospatially based on the exposed  
16 population and atmospheric variables, primarily using  
17 PM2.5 for particulate matter and NOx emissions, because  
18 they can cause both human health issues as well as natural  
19 environmental problems.

20           So once we have the information on PM2.5 and NOx  
21 benefits from the CEC by census tract, we use the EASUIR  
22 model to see what the 2.5 dollars per ton by census tract  
23 and also the NOx by census tract, and basically multiplied  
24 the benefits from CEC by this coefficient from EASUIR to  
25 see the total social benefits by census tract.

1           And now I will hand it off to Chad, I think, to  
2 talk about the jobs modeling results.

3           MR. HUNTER:   Awesome.   Thanks, Maddy.

4           Next slide.   Great.   So on the job modeling, as  
5 a reminder, we use IMPLAN as our modeling for the market.  
6 The input in IMPLAN is really kind of the data shown here.  
7 So we break out project investment according to different  
8 industry sectors, according to the North American Industry  
9 Classification System Codes, so that's kind of summarized  
10 here by sector at the top, which obviously is a variety of  
11 vehicle manufacturing sectors and industrial equipment  
12 manufacturing sectors.

13           And then we can also look at that funding  
14 breakdown as a function of time, which is showing in the  
15 bottom slot, which shows that a typical investment between  
16 60 and 80 -- or \$80 million per year, which is what we  
17 have accounted for here.

18           I will note that we didn't have the capability  
19 of accounting for ongoing investment or spending from the  
20 companies or projects that are funded from CEC CTP  
21 funding, so we just account for the initial investment,  
22 which kind of gets the project up and running.   But then  
23 obviously there is this continued investment and  
24 operations investment, which we are accounting for.   So  
25 the jobs results that we're going to show on the next

1 slide are ultimately very conservative from our  
2 perspective. Next slide.

3           And so the output of IMPLAN based on that just  
4 investment, upfront investment, shows that roughly 4,000  
5 full-time jobs have been created across the state of  
6 California. And some notes on that is that a lot of the  
7 direct impact of really some of the higher investment  
8 sectors is estimated to occur outside of California, so  
9 effectively importing some goods and services into the  
10 state of California based on IMPLAN's original absorption  
11 coefficient.

12           Additionally, there are high levels of  
13 automation in manufacturing in different manufacturing  
14 sectors that a lot of funds go into, and that also results  
15 in relatively few jobs created per dollar of investment.  
16 But, in general, what IMPLAN is estimating is that on a  
17 typical year, 200 to 400 jobs are created due to CEC's CTP  
18 investment. Next slide.

19           Awesome. And so with that, that's the expected  
20 benefits results and now we'll move into the market  
21 transformation results, and I will pass it off to Chris.

22           MR. NEUMAN: Thanks, Chad. Next slide, please.

23           Great. So the market transformation perceived  
24 vehicle price reductions. These apply to the electric-  
25 vehicle charging stations and the hydrogen-refueling

1 stations. While the hydrogen-refueling station  
2 methodology hasn't changed from the previous year, that  
3 was gone into with less depth, but it's basically  
4 equivalent to the electric-vehicle charge station modeling  
5 where the amount of infrastructure has the perceived  
6 benefit and induces vehicle sales.

7           So as we can see, that there is a high and low  
8 reduced vehicle sales for electric vehicles, hydrogen  
9 vehicles, and PHEVs. The high and low have to do with the  
10 demand elasticity within each area. And with the induced  
11 vehicle sales and the replacement of conventional  
12 vehicles, we then see the emission reductions on the  
13 right-hand side. So we have low and a high level of CO2,  
14 NOx, and PM2.5 by each year and by vehicle electrification  
15 type -- sorry -- and hydrogen as well. Next slide,  
16 please.

17           So market transformation vehicle cost  
18 reductions, this involves CVRP, EV component manufacturing  
19 and, EV manufacturing. So we have the induced-vehicle  
20 sales, once again broken out by the three main  
21 technologies here. And, as you can see, there is a fairly  
22 large drop in 2014 from the both high and low scenario.  
23 This has to do with a methodological change from -- a move  
24 from a share price reduction examination to our more cost  
25 reduction enhancement, as learning by doing. So as the

1 market learns, the transformation occurs and then things  
2 become easier and cheaper to manufacture.

3 And you can see the kind of corresponding  
4 emission reductions from these three categories are then  
5 shown on the right with all the CO2, NOx, and PM2.5 for  
6 each demand of the elasticity again. Next slide, please.

7 And this is the -- this --

8 MR. DESAI: No problem.

9 MR. NEUMAN: Yeah, this is the overall -- sorry.  
10 I need to hand this off to Ranjit. Stepped on his a bit.

11 MR. DESAI: No problems, Chris..

12 So these are the estimated market transformation  
13 benefits of, at once, fuel production. And so high and  
14 low prices depend on this, which we have collected from  
15 each project. So for each project level, we estimate the  
16 project level cost per like dollar per CO2. And from  
17 there, what we do is like at each project, we are --  
18 project level, we also add like an estimate of this cost.  
19 And at the end we estimate the final cost of GHG  
20 reduction, which is the metric ton CO2 per dollar. And  
21 here -- so I think the key part to look at here is  
22 electric heavy-duty rate and the gaseous medium- and  
23 heavy-duty trucks. Those are the ones which have the  
24 highest benefits.

25 And I think for the last couple of results, I

1 will pass on to Maddy.

2 MS. GILLERAN: Thanks, Ranjit.

3 So I need 14, the next slide. Thank you. Yeah.

4 So the next generation biofuels include  
5 biomethane, diesel substitutes, and gasoline substitutes.  
6 So seen in this slide, we expect that diesel-substitute  
7 projects have the greatest impact on reducing petroleum  
8 and GHG. And we expect a total of between 42,- and 169  
9 million gallons of petroleum would be replaced in 2030 by  
10 these projects as well as between 204 and 1,200 tons of  
11 carbon dioxide equivalent GHG reduction. And then you  
12 could progress to the next slide.

13 And then this is showing the total market  
14 transformation results summary in a tabular format in the  
15 year 2030 alone, breaking it down by each project type and  
16 showing the high and low scenarios.

17 So seen at the bottom of the slide, we expect  
18 between 168 million gallons of petroleum replacement and  
19 824 -- or, sorry -- 2,350 GHG production, thousand tons  
20 carbon of gas in the pipeline.

21 And that concludes our presentation. Thank you  
22 for your time and let us know if you have any questions.

23 COMMISSIONER MONAHAN: Thank you. I have so  
24 many questions. I've got a lot of questions. Maybe I'll  
25 ask one or two, and then if Commissioner McAllister has

1 some questions, I will let him, and then go back to asking  
2 more questions. But this is something I know we talked  
3 about when we met a number of months ago, but how are you  
4 apportioning impacts from the investments from the Clean  
5 Transportation Program vis-a-vis other policies, like the  
6 Low-Carbon Fuel Standard? And now the Low-Carbon Fuel  
7 Standard you know, for -- it used to be just classes and  
8 now there's cash-free credits for hydrogen and for  
9 battery-electric charging infrastructure. So how are you  
10 treating that?

11 MR. HUNTER: Hey, Commissioner Monahan, yeah,  
12 that's a really great question. Not something that -- I  
13 think we have been thinking about but haven't tried to  
14 tackle in previous analyses or in this analysis yet. So  
15 historically we have looked at CEC CTP program investments  
16 across all projects and simply count the benefits  
17 according to those projects.

18 I think it gets really hard to say what benefits  
19 should be accrued and go to kind of which funding  
20 mechanism because there's definitely like tipping point  
21 analyses, for example, you know, projects may have some  
22 financial support but they won't be feasible economically  
23 and be implemented until it hits some threshold, so who  
24 really gets that threshold and at what point does that  
25 threshold -- you know, it becomes a very hard challenge

1 that -- I think we're thinking through the best way to  
2 approach that. And I hope that at some point we could --  
3 could try to tackle that, but thus far we haven't really  
4 looked at that. But I do think it's a really important  
5 point that we try to make and we can definitely try and  
6 make that a little bit more clearly in the future report.

7 COMMISSIONER MONAHAN: Yeah. I think -- I mean  
8 for us that would be really helpful because we're trying  
9 to figure out how do we make sure that we are using our  
10 money wisely. And if a policy is driving the investment,  
11 then we just have to think through, well, does it make  
12 sense for us to continue to invest or do we change our  
13 investment strategy. And, as we know, it's a huge driver  
14 in terms of investments.

15 Then I'm curious about the induced vehicle sales  
16 on infrastructure. Can we go back to a couple of those?  
17 I think there were two slides relating to that or maybe  
18 just one. Can you show that slide? Can somebody show  
19 that slide back? Let me see it, I think I can --

20 MR. HUNTER: Maybe while that slide is being  
21 pulled up, I will note one other thing, assessing  
22 effectively the impact of different investment, so there  
23 is another task that a parallel team here at NREL is  
24 working with the CEC on to assess the impact of certain  
25 investments for different EVSE infrastructure, for

1 example. So there is another R&D effort that's trying to  
2 look at some of that. And we actually just had a really  
3 great discussion with the larger CEC leadership team and  
4 NREL leadership team yesterday to decide on if there is an  
5 opportunity to integrate both analyses to think about,  
6 okay, how can we optimize a portfolio of clean  
7 transportation investment and what would that portfolio  
8 really look like in the context of uncertainty. And so  
9 just a quick note there, as a follow-up.

10 COMMISSIONER MONAHAN: It's slide 28 that I was  
11 interested in. So can you walk me through how the induced  
12 vehicle sales look for, let's say, for hydrogen. We have  
13 -- you know, let's say we reach -- when we reach the 200-  
14 station goal, that should be enough for at least -- you  
15 know, I think it's between to 40,000 to 50,000 fuel cell  
16 electric vehicles, would you assume that our -- just so I  
17 understand, that with -- I think it was 40-percent  
18 utilization; is that right? That every station is  
19 utilized at 40 percent. And that --

20 MR. HUNTER: Up to 45.

21 COMMISSIONER MONAHAN: And that is what would  
22 drive -- so, basically, it's assumed that each station,  
23 once you build it, 45 percent will be used. And that will  
24 drive vehicle adoption. Is that right?

25 MR. HUNTER: So may be there is -- there's two

1 things here, and gas is a little confusing. So on the  
2 expected benefits side, we assume that the refueling -- or  
3 the hydrogen-refueling stations that have been proposed  
4 and funded thus far will be built and there's a certain  
5 nameplate capacity there. And so the utilization of those  
6 proposed stations that are already agreed on will full  
7 increase up to that 45-percent threshold. And that's all  
8 market transformation benefits. On the -- or, sorry --  
9 expected benefits.

10           On the market transformation side, we do a  
11 little bit of a different analysis where we say as the  
12 hydrogen-refueling stations are rolled out across the  
13 state of California, how does that reduce the perceived  
14 price penalty of fuel cell electric vehicles. So  
15 basically as a consumer I'm going to have to drive only  
16 two minutes to get to a hydrogen-refueling station instead  
17 of 15 minutes. And so the value of that fuel cell  
18 electric vehicle is then increased and that results in  
19 induced -- induced fuel cell electric vehicle sales. And  
20 so that's really what we're trying to capture here in this  
21 slide, which is every incremental station provides that  
22 larger network that individual consumers will see. And so  
23 that relative perceived price of a fuel cell electric  
24 vehicle is decreased, and so adopt more of them more  
25 frequently.

1 COMMISSIONER MONAHAN: I See --

2 MR. HUNTER: And I think Chris can -- oh, go  
3 ahead.

4 COMMISSIONER MONAHAN: Well, and so you're  
5 taking vehicle pricing into account and doing some  
6 assessment of what fuel cell prices will do over the next  
7 10 years and what battery-electric vehicles will do over  
8 the next 10 years?

9 MR. HUNTER: Correct. Yeah, so we take those  
10 price projections and then we effectively reduce them by  
11 some amount due to the infrastructure kind of penalty or,  
12 in this case, reducing that infrastructure penalty. And  
13 then that reduces the effective price of that fuel cell  
14 electric vehicle, and then that goes into our adoption  
15 modeling.

16 COMMISSIONER MONAHAN: Great. Thank you.

17 Commissioner McAllister, did you have questions  
18 you want to ask?

19 COMMISSIONER MCALLISTER: Well, I just am  
20 fascinated. This is so much good information. And I'm  
21 not in this field every day all day like you are  
22 Commissioner Monahan, so I really -- it's a little bit  
23 different than building. But I was -- so I really am just  
24 happy for you to take the lead here. But I was interested  
25 maybe in -- and I did have to step out for a little while

1 to attend to some other things, so if I missed this I  
2 apologize. So what do you -- it's interesting to see the  
3 benefit, the sort of revised benefit, and I'm looking  
4 particularly at, let's see here, slide 18 or 19, I think.  
5 Hold on a second. Yeah, 19, I guess. But the results on  
6 the electric charger benefits, it looks like they went up  
7 because of the updated emiles and grid carbon intensity  
8 accounting. So how do you describe or how do you explain  
9 the updated emiles? Is that just based on sort of updated  
10 data and, you know, monitoring of how much people are  
11 driving EVs or was there some other driver there?

12 Okay, --

13 MR. HUNTER: Yeah.

14 COMMISSIONER MCALLISTER: -- looking at number  
15 19 there, the results on the bottom.

16 MR. HUNTER: Yeah, definitely.

17 Ranjit, do you want out walk through the emiles  
18 correlation update and kind of how we improved this year  
19 versus previous analyses?

20 MR. DESAI: Sure. Yeah. Thank you, Chad.

21 So I think that's on the slide 8.

22 COMMISSIONER MCALLISTER: Oh, I'm sorry. I  
23 might have missed that.

24 MR. DESAI: Yeah. That's the base of these  
25 results. Yeah, this one. Sorry. Thank you.

1           So what we have done here is like for the  
2 current utilization, we use the charging data results, so  
3 we -- addendum, we have the -- you see the alternative  
4 fuel data center where we maintain the data setoff like,  
5 you know, charging stations. So what we have done in this  
6 one is like for Level 2 we have over a million charging  
7 stations and for Level DC we have over four million  
8 charging stations. So from there we can estimate the --  
9 like, you know, the energy consumption per plug per day.  
10 And from there, we use the efficiency kilowatt per mile to  
11 estimate how many miles one way could drive use to --  
12 based on that energy consumption. And from there we  
13 estimate like annual electric miles. So by new electric  
14 miles, what we mean is like if the -- like the electric  
15 vehicles use the public charging stations, how much energy  
16 they will consume in one year and how much electric -- or  
17 how many miles that would result from that energy.

18           So based on this assumption, we estimate the  
19 current benefit, and if you move to the next slide, so in  
20 this one we have the projections of emiles and as well as  
21 the grid intensity. So the emiles increase from now into  
22 the future. And for that, we use the EVI-Pro model.

23           The EVI-Pro model is another inhouse model where  
24 we look at how we like, you know, use of electric grid  
25 could still change and how number of EVs are going to

1 change into the future. And based on that, we estimate  
2 like how much would be the project energy or charging  
3 utilization. And that we use to -- use to calculate the  
4 benefits you are looking at.

5 And on top of that we have the projections of  
6 the electric grid intensity and -- which is like, you  
7 know, as the grid gets better we have like better -- like  
8 benefits from the electric ratepayers.

9 COMMISSIONER MCALLISTER: Yeah. So your core  
10 data that you're sort of starting with and then deriving -  
11 - using models to derive these results from is actual sort  
12 of utilization level of some collection of chargers --

13 MR. DESAI: Yes, yes.

14 COMMISSIONER MCALLISTER: -- total kilowatt  
15 hours and then you sort of derive all this from that?

16 MR. DESAI: Yes.

17 COMMISSIONER MCALLISTER: Okay.

18 MR. DESAI: And it is California based, it is  
19 the data from only California which we use for these  
20 estimates.

21 COMMISSIONER MCALLISTER: So are you surprised  
22 by these results, that utilization is higher maybe than in  
23 previous analyses or that, you know, the estimates for  
24 emiles went up?

25 COMMISSIONER MCALLISTER: The projections are

1 from the current ones which we are looking at right now.  
2 These are based on the EVI-Pro model. But the ones we saw  
3 in the past out like are very in line with what we are  
4 seeing at other places as well. And I think most of the  
5 analysis we have done at and will come at different places  
6 are very in line.

7 COMMISSIONER MCALLISTER: Great. Great, okay.  
8 Well, thanks a lot. I mean it seems like a really great -  
9 - an excellent market transformation story that's  
10 happening and we're sort of in the midst of, so that's  
11 great to see. Yeah.

12 MR. DESAI: Thank you, Commissioner.

13 COMMISSIONER MCALLISTER: Thank you.

14 Thanks for showing me that --

15 COMMISSIONER MONAHAN: Can we --

16 COMMISSIONER MCALLISTER: Go ahead.

17 COMMISSIONER MONAHAN: Yeah. Can we go to the  
18 equity slide, equity benefit slide? I think it's 23 or  
19 24.

20 So spatially disaggregating benefits by census  
21 tract, I was surprised, I thought it would actually be a  
22 higher percent than 40 percent of the reductions are  
23 happening in disadvantaged communities. But have you also  
24 looked at low-income communities? I wonder if that is  
25 something that could be added to this analysis. We tend

1 to think of disadvantaged and low income together.

2 MS. GILLERAN: I can reply to that and chat  
3 about that. But the main thing, I'm using the  
4 CalEnviroScreen, like the Draft Version 4.0, and assign to  
5 those which have a CI score of greater than 75 percent  
6 during that top five percentile. I can also do an  
7 analysis like lowering that to see what that would do.  
8 I'm not sure if the margin has become level data, but I  
9 could see if it does represent any other like geospatial  
10 maps. I could join that with the data as well.

11 COMMISSIONER MONAHAN: And maybe I should  
12 verify. Is Larry or anybody from the CTP team who is  
13 tracking how we quantify low income on the line still?

14 This may be something we follow up with you  
15 about, but, you know, when we -- the slide that we showed,  
16 that the team showed on investments that we've made, we  
17 break out low income, we have disadvantaged, low income,  
18 and then we tend to look at them together. And it would  
19 be nice -- it would be great if the analysis could --  
20 could line up with what we're doing in terms of how we're  
21 describing our investments on the Clean Transportation  
22 Program.

23 Oh, I see Larry's here. Larry, what do you  
24 think?

25 MR. RILLERA: Yeah, Patty, thank you for that.

1 I think not just sort of DAC, we do have some information,  
2 low income, LIAC, LIH as well. I know we received some  
3 public comment with respect to rural, in particular. I  
4 think that analysis, there's some data, and we can  
5 certainly talk a little more offline there. And some work  
6 of the Strategic Growth Council, so there may be some  
7 datasets available as well.

8 MR. NEUMAN: Awesome.

9 MR. HUNTER: Yeah. I mean if you have any  
10 spatial information about that, that would be great to  
11 merge them together so we're kind of apples to apples in  
12 our analysis. Great.

13 COMMISSIONER MONAHAN: And, Maddy, does the  
14 analysis when it comes to medium- and heavy-duty vehicles  
15 that are operating statewide, how did you apportion the  
16 amount of pollution that is -- or pollution reduction in  
17 disadvantaged communities?

18 MS. GILLERAN: Yeah. So I think we used the  
19 real world truck data and saw it's each hour for like  
20 around four percent of trucks in the U.S. and just looked  
21 at the California data and saw where like the most points  
22 were occurring throughout the California. And then we saw  
23 where each point was throughout each like that long, and  
24 then looked at census tract area and took the total  
25 vehicle instances dividing by census tract area to see

1 where the most like vehicle instance per area could be.  
2 And then we kind of estimated the total vehicles related  
3 benefits through all of California once having all the  
4 projects, so standards like fifty millions of gallons  
5 displaced from PM2.5 reduction. And then disaggregating  
6 that way, of multiplying -- or I guess dividing out the  
7 various vehicles per area by the total petroleum  
8 production. That's how we like spatially disaggregated  
9 it.

10 (Tones.)

11 COMMISSIONER MONAHAN: Okay. And I guess a  
12 similar question when it comes to the impacts of refueling  
13 infrastructure for medium- and heavy-duty vehicles, I mean  
14 these vehicles tend to use a lot more fuel than light-  
15 duty. And so like the 45-percent utilization for hydrogen  
16 on light-duty station, one could argue that for medium-  
17 and heavy-duty, the utilization would be much higher, and  
18 that goes for battery-electric or fuel cell electric, or  
19 fuel displacement, for that matter. Just -- are you  
20 accounting for kind of the greater miles in utilization in  
21 the medium- and heavy-duty world than light-duty?

22 MS. GILLERAN: Chad, do you have an answer to  
23 that? I'm sorry. I'll hand it off to you. I don't know.

24 MR. HUNTER: Yeah, I can maybe take a stab at,  
25 I'm sure. I think Chris might have some ideas as well.

1           But at a high level, so there's a couple  
2 different types of projects. Like, for example, there's  
3 projects that fund both the vehicle and the fueling  
4 infrastructure to support that medium- or heavy-duty truck  
5 or bus. And for those we typically look at the VMT  
6 schedule of the bus or the -- of the truck, and so we do  
7 account for that higher kind of fuel consumption, higher  
8 travel from the vehicle perspective. But on the light-  
9 duty side, yeah, we have -- we just use the refueling  
10 station through-put.

11           And, Chris, I don't know if there is anything  
12 else you wanted to add there. You know, we've talked  
13 about that a couple of times this year.

14           MR. NEUMAN: Yeah. I mean for the medium- and  
15 heavy-duty, obviously as you might guess, the medium-duty,  
16 it's a real challenge just because of the diversity of  
17 vehicles it's really complex. We kind of relied more on a  
18 very, very rich dataset for heavy-duty for this equity  
19 study. It is time that they -- a first attempt to get  
20 much more accurate measurements in the neighborhoods  
21 through this methodology. So in the future I think that  
22 we will probably also develop further advancements to the  
23 heavy-duty and medium-duty areas.

24           COMMISSIONER MONAHAN: Yeah. I think that would  
25 be really -- I mean this is such an opportunity, I think,

1 in California to build out that infrastructure for medium-  
2 and heavy-duty vehicles, where we get this two-for for air  
3 quality and of course equity benefits, but that also they  
4 use so much more fuel, so we -- presumably the benefit,  
5 even though the cost is much higher, the benefits are as  
6 well. And that's something, you know, in the most recent  
7 budget, the Governor and the Legislature have really  
8 prioritized reduction of diesel pollution and investment  
9 in ZEV infrastructure for medium- and heavy-duty vehicles.  
10 And I do think there is terrific opportunity on the  
11 analytical side to both, you know, just the direct but  
12 also the induced.

13 I think a lot of companies too are afraid to  
14 invest in ZEV because there's no infrastructure. And this  
15 is an area where like if we can build the business case,  
16 it's not like consumers that are -- I mean I feel like on  
17 the light-duty side it's really hard to model induced  
18 because consumers like their attributes. They care about  
19 what's cool and what looks good. And you can't really  
20 model that very well, so I think that's just something we  
21 should be aware on the light-duty side, that it's very  
22 hard to model consumer choice. Very, very hard. I think  
23 you're doing a great job, but you're taking a very  
24 simplistic view of what consumer adoption will look like  
25 because consumers care about attributes that we don't

1 fully understand.

2           But on the medium- and heavy-duty side, the  
3 attributes are really like simpler, right. It's a  
4 business saving money at the end of the day, and can they  
5 get from point A to -- they move their goods in an  
6 efficient and swift manner, you know, so then you can have  
7 huge adoption rates. So we're trying to figure out the  
8 right investments to be able to capitalize on that  
9 opportunity, create a business case, and have the market  
10 take over on its own.

11           And I guess one -- can I just keep going? I'm  
12 not sure, Heather. You could cut me off when it's time.  
13 But --

14           MS. RAITT: Keep going, please. We're ahead of  
15 schedule, so you're fine, no worries.

16           COMMISSIONER MONAHAN: Okay, okay. So is there  
17 like one slide that rules them all in terms of the  
18 benefits? I got -- is there -- I haven't seen one slide  
19 that just like says here is all the investments and here  
20 is all the benefits as we have calculated them and here is  
21 how these different investments stack up against each  
22 other?

23           MR. HUNTER: Good question. Yeah, we don't have  
24 a slide that summarizes both the expected benefits and the  
25 market transformation benefits together. We just have

1 those two slides that summarize each one individually, so  
2 we could superimpose those together in a total summary  
3 slide. And that's usually what we do in the report. But,  
4 yeah, we didn't include that today for some reason. Good  
5 question.

6 COMMISSIONER MONAHAN: And from your perspective  
7 as analysts, just, you know, what -- what was sort of the  
8 most important adjustments that you have made that have  
9 like resulted in changes in the calculation from the last  
10 one to this one? What would you categorize is for the top  
11 level adjustments that have been made, that had the most  
12 profound impact?

13 MR. NEUMAN: I think part of the data welding  
14 methodology really, really focusing on -- or at least for  
15 fuel production, focusing on the measure usage over the  
16 expected usage was a big piece. So getting that really  
17 data-driven measurement values over kind of expected  
18 solicitation portion value was -- I think that had an  
19 impact on the results over previous years, I would say,  
20 from my area.

21 I don't know if anyone has their --

22 MR. HUNTER: Yeah. Yeah, Ranjit, do you -- do  
23 you want -- it sounded like you were going to chime in  
24 there?

25 MR. DESAI: Yes. Yes. Yeah, I think from

1 starting utilizing point of view, like when I look at the  
2 data itself, like we held it up from 2016 to 2020, it's a  
3 good amount of data. And plus like, you know, we have  
4 this -- we haven't seen electric grid for some time now,  
5 plus the public infrastructure. So getting to -- getting  
6 access to such data so it like, you know, what is actually  
7 happening in the real world instead of basing it on some  
8 studies and like trying to understand trying to stop it  
9 from there. So that is pretty interesting to look at it,  
10 like the utilizing itself on time from there projecting  
11 into the future, I think that was pretty -- pretty good.

12 COMMISSIONER MONAHAN: Thanks. Okay, I'm going  
13 to go on one more tangent. Could we go to slide 25, the  
14 jobs modeling? I'm sorry to be bouncing around. You guys  
15 put in a lot of information, so I'm trying to keep up.

16 So on the jobs modeling, so the fueling  
17 infrastructure, I was -- I was actually surprised at the  
18 vehicles investments were so high, say, in 2018, 2019, and  
19 the infrastructure not as been granted as a big spike in  
20 2021. But you know I think of jobs building at  
21 infrastructure is really clear. Like you put a dollar in,  
22 you could figure out exactly how many jobs you have coming  
23 out. On the vehicle side, that's a little harder. Can  
24 you walk me through the vehicles, the number, how you got  
25 to these numbers on the vehicle side in the IMPLAN model?

1 MR. HUNTER: Yeah, definitely.

2 COMMISSIONER MONAHAN: So is that -- it's  
3 actually not this slide. It's the one maybe -- it's slide  
4 25, so the one before.

5 MR. HUNTER: Sorry, too much content.

6 COMMISSIONER MONAHAN: Whoa.

7 MR. HUNTER: I think it's up a few slides, yeah.  
8 There we go.

9 COMMISSIONER MONAHAN: Yeah, that's one.

10 MR. HUNTER: Yeah. And so broadly we're  
11 defining vehicles projects like the way that we define in  
12 a project, so that could be vehicles manufacturing  
13 projects. For example, like motorcycles or light-duty  
14 vehicle, electric vehicle. It could be demonstration  
15 projects, vehicle demos for medium- and heavy-duty trucks,  
16 things like that.

17 And we broadly define the investment based on  
18 the project start year and end year, and do just a linear  
19 interpellation between those and say the investments are  
20 roughly going to happen nearly, although in real life it  
21 will happen in lumpy, kind of -- throughout the project as  
22 it hits different gates. So that's kind of how we think  
23 about project investment, according to the project  
24 classes. So if there are other -- I don't think that  
25 answered your question, but is there another question --

1           COMMISSIONER MONAHAN: Does this include for  
2 vehicles, would this include manufactured -- grants we  
3 give to manufacturers, would those count?

4           MR. HUNTER: Um-hum. Yeah, the way --

5           COMMISSIONER MONAHAN: -- that category.

6           MR. HUNTER: Yeah, that's how we have defined  
7 our vehicles project class, vehicle --

8           COMMISSIONER MONAHAN: All right. Moving  
9 forward we actually have a significant amount of money for  
10 manufacturing, 125,- per year for two years, so that will  
11 be boosted up to deploy in the future.

12          MR. HUNTER: Yes.

13          COMMISSIONER MONAHAN: And do you -- when like  
14 let's say for each hydrogen station or for each EVSE  
15 project do you have a certain number of jobs associated  
16 with that that is in that data?

17          MR. HUNTER: Not quite. So we basically take  
18 the data from the CTP investment, so for a hydrogen-  
19 refueling station basically what -- how much money was  
20 invested. And then we look at the project budget that was  
21 proposed with that funding application to say, okay, what  
22 fraction of investment is going to go which type of  
23 category. And then -- so we have effectively for  
24 hydrogen-refueling stations, you know, for every million  
25 dollars we can proportion a fraction of that to the

1 different industry sectors that generally compose the  
2 hydrogen-refueling station, so there's mostly just  
3 machinery, manufacturing, and other manufacturing  
4 structures, like newly -- sorry -- newly-constructed  
5 manufacturing structures is like one of the big categories  
6 for building refueling stations. And so we take the total  
7 investment for that project, allocate it to the different  
8 industry verticals, and then run that through IMPLAN, and  
9 then that results in a jobs total number for that project.  
10 And so different projects --

11 COMMISSIONER MONAHAN: Do you --

12 MR. HUNTER: Oh, go ahead.

13 COMMISSIONER MONAHAN: I'm sorry, Chad. So  
14 these -- are these direct and induced, or just direct?

15 MR. HUNTER: So shown here is just direct  
16 investments. And then there's going to be some  
17 multiplying effect of that investment over time, which we  
18 didn't show here, but really the jobs would reflect direct  
19 investment, indirect, and induced ongoing ripple effects  
20 through the economy.

21 COMMISSIONER MONAHAN: Okay. So it will, but it  
22 doesn't in this slide; am I --

23 MR. HUNTER: Correct. Yeah, this is --

24 COMMISSIONER MONAHAN: Okay.

25 MR. HUNTER: Yeah, this is just the funding for

1 the initial -- initial investment, but then --

2 COMMISSIONER MONAHAN: Do you --

3 MR. HUNTER: -- it kind of accounts for all  
4 that.

5 COMMISSIONER MONAHAN: Got it. One thing we may  
6 want to do is, I don't know, it's probably too late for  
7 this analysis, but there's a job study that uses real data  
8 for EVSE manufacturing -- EVSE installation. It doesn't  
9 include the manufacturing side, or any of that, but just  
10 the installation side. And I know the fuel cell entries  
11 are also doing similar ones using the same, I think,  
12 methodology and researchers on the fuel cell side, the  
13 hydrogen side. So it will have some data that we could  
14 compare this to. That might be helpful. You know it's  
15 such --

16 COMMISSIONER MCALLISTER: Might -- can I did

17 COMMISSIONER MONAHAN: -- an important --

18 COMMISSIONER MCALLISTER: Can I interject  
19 something here as well?

20 COMMISSIONER MONAHAN: Yes.

21 COMMISSIONER MCALLISTER: So, yeah, I was  
22 wondering, you know, DOE has taken back the U.S. Energy  
23 and Employment Report that was sort of orphaned during the  
24 previous administration. And we were involved in kind of  
25 keeping it kind of resuscitated and a bunch of states

1 chipped in. But the U.S. Energy and Employment Report,  
2 USEER, and just a few weeks ago for the 2021 version, and  
3 I'm wondering if you know about that or it's got a -- it's  
4 been going on for about 10 years and has longitudinal, you  
5 know, kind of rigger in that way, but it doesn't dig into  
6 the details of each sector nearly as much as you have  
7 here. But it would be kind of interesting to compare and  
8 contrast.

9           It does break out, you know, transportation  
10 sector, including manufacturing. And it does kind of do  
11 cover the same territory at some level. And it would be  
12 nice to kind of see -- maybe triangulate and sort of  
13 compare and contrast the numbers that you're coming up  
14 with for this sector with them.

15           MR. HUNTER: Yeah, I think that's definitely  
16 something we'd be very interested in doing. And,  
17 Commissioner Monahan, we'd definitely be open to new ideas  
18 and ways of improving this analysis moving forward. This  
19 was the first year, so we're trying to wrap our heads  
20 around an approach to do it, and I definitely think there  
21 are some areas to improve on both the data side and the  
22 modeling side, so points taken on both those fronts and I  
23 think we'll have a lot more to do on this piece. Thank  
24 you.

25           COMMISSIONER MONAHAN: Yeah. And I want to

1 clarify that this is -- I mean this is really important  
2 research, and as we see the federal government finally  
3 joining forces with California to invest in zero-emission  
4 vehicle infrastructure and to help support, you know,  
5 cleaner transportation more broadly, hopefully others  
6 will be relying on this, but it's -- as I said in the  
7 outset, this is hard. There's no one way, there's no  
8 right way, there's only better ways, you know, and kind of  
9 improving our analysis to get more information and  
10 recognizing that it will always be imperfect, and so you  
11 can't -- it's like we can't say, oh, you should -- just  
12 because it has the greatest dollar per ton we should do  
13 it, because there are so many uncertainties embedded in  
14 the analysis that we have to be causative enough. And yet  
15 we need this analysis to be able to grant some of our  
16 investments and to always be -- again, as a state we need  
17 to like really be looking at our own investments and  
18 trying continuously to improve our success rate.

19           You know what's exciting to me and motivating to  
20 me is now that California has really said, with the  
21 Governor's leadership, that we're moving to a zero-  
22 emission vehicle future and we need to make the right  
23 investments to get there, it's daunting and exciting.  
24 And, you know, this is a huge opportunity in the state of  
25 California to show the world how we can clean up our

1 transportation system while stimulating the economy and  
2 creating jobs and creating -- hopefully fostering a more  
3 equitable society, so all of those are things that we  
4 could really take to heart and we're trying -- you know, I  
5 think the entire team at the Energy Commission is  
6 motivated to support the Governor's goals. And this  
7 analysis is part of that.

8           So I want to just thank all of you for this  
9 research. And I hope you don't take the questions that  
10 we're raising as a critique at all. It's more of -- you  
11 know, we like you are -- are trying to understand and  
12 refine the analysis in investments and improve as we go.

13           COMMISSIONER MCALLISTER: I want to just step in  
14 and thank the NREL team for this as well. I mean it's  
15 really amazing. I could not digest all the information  
16 that was in the presentation, so I have to go back and  
17 revisit and sort through. But not just the NREL team but  
18 also the Commission staff.

19           I mean I can just see how industry players here  
20 can look to California and just take heart in the  
21 commitment. It's clearly a long-term commitment to get  
22 this done. And, you know, acknowledging that we don't  
23 know everything we need to know, but I see similar  
24 dynamics on the building side where it's very daunting.  
25 You know, how do we get into all our building.

1           And Commissioner Monahan and I are always kind  
2 of looking for ways that we can use these two platforms,  
3 building and transportation, and sort of mesh them  
4 together too to optimize investments overall in the  
5 State's clean energy transition. I think there is a ton  
6 of opportunity there. You know, certainly home-based  
7 charging and business-based charging and that sort of  
8 thing through the building codes. But all sorts of  
9 synergies in terms of land use planning and local  
10 government authorities, and things like that where I think  
11 we are just on the -- on the front edge, really, of those  
12 efforts, so this has been super enlightening for me.  
13 Thank you very much.

14           COMMISSIONER MONAHAN: One last comment I'd like  
15 to make is just -- is it available actually? Further out.  
16 But I'd love to read it, but I hope in your report that  
17 you clarify like uncertainties. And one of the  
18 uncertainties I raised was this consumer adoption,  
19 consumer preferences when it comes to light-duty vehicles.  
20 Like I feel that that's a really important point to  
21 highlight. And the medium- and heavy-duty, that  
22 opportunity, because I mean we do see some vehicle  
23 attributes in the medium- and heavy-duty, especially with  
24 the small owner-operator, you know, they like certain  
25 trucks, the way they look. But when it comes to fleets,

1 like Amazon, they don't care. You know, they're not --  
2 they're looking at just the bottom line. And so some of  
3 that, like it's easier to model in the medium- and heavy-  
4 duty stage with the fleets and transit districts where  
5 there's like a bottom, they just care about the bottom  
6 line. And so just a strong recommendation.

7           And also the fact, they don't really understand  
8 how it's inducing compared to the investment that we're  
9 making, so just be clear with some of the uncertainties in  
10 the analysis that are just inherent. But I think, you  
11 know, as a scientist and another researcher, I've seen how  
12 people go onto this number and then they say this -- it's  
13 this number because, look, the analysis said so, but we  
14 all know, analysts, like, oh, no, there's some uncertainty  
15 embedded in this and we should just be clear about that.

16           But with that said, thank you so much. Thank  
17 you for being partners and research partners in this. And  
18 we look forward to continuing to working with you to  
19 improve the data as we learn more.

20           MR. HUNTER: Great. Yeah. Thanks for the  
21 opportunity to present.

22           MS. RAITT: So --

23           COMMISSIONER MONAHAN: I think we can turn to  
24 Q&A -- oh, sorry, Heather. To you.

25           MS. RAITT: I was going to say to the NREL

1 folks: Thank you so much for presenting. If you can hang  
2 on for a few minutes, Quentin Gee is going to read some of  
3 the questions to get some attendees on the Zoom.

4 Go ahead, Quentin.

5 MR. GEE: Okay, great. Can you all hear me?

6 MS. RAITT: Yup.

7 MR. GEE: Okay. Great. So, just real quick, we  
8 had a brief comment from Tiffany Hoang that we do track  
9 this from the SB 1000, so, Patty, if you were asking, and  
10 then NREL, we do have some of that data so we'll be able  
11 to arrange that for you.

12 As far as the other questions go, we have one  
13 from Jeffrey Lu: Can you clarify how the location of the  
14 charger or a fueling station determines the benefits to  
15 that location? Is there consideration that drivers may  
16 charge to refuel at one place but drive mostly in other  
17 areas and, therefore, the air, GHG benefits may accrue  
18 primarily in areas away from the refueling station?

19 I guess, Maddy, do you have an answer for that?

20 MS. GILLERAN: Yeah. I think it depends, I  
21 guess, on the range of the vehicle or I think we assume  
22 that most are near the station because the person would  
23 have to go to the station first to refuel. They could be  
24 traveling on road trips and obviously other things. But I  
25 think we were thinking about increasing the radius of

1 where benefits were occurring in future generations, so  
2 maybe like a 30-mile radius for people to drive to the  
3 station, the benefits could occur in that 30-mile radius.  
4 But like over a hundred miles, people would not like drive  
5 to a station, or something. So it's definitely like in  
6 the vicinity, but the vicinity can be increased I think to  
7 like more than just a census tract in the future.

8 MR. GEE: Great. Okay. Another question that  
9 we have is from Kevin Craig Wood. This might be a little  
10 bit different: How do you attribute benefits in cases of  
11 multiple investments?

12 Maybe, Chad, so thinking about CARB, HVIP, CEC,  
13 this might kind of get to what Patty was discussing  
14 earlier about LCFS. When we do that, do we strictly do  
15 the percentage of contribution or is there an alternative  
16 way that we could go about it?

17 MR. HUNTER: Yeah, I think that's come up a  
18 couple times a day. It's definitely something we're  
19 trying to think through on what is the best approach to  
20 allocating those benefits according to funding types.  
21 It's -- unfortunately, it's not as easy as just doing a  
22 linear or percent of money contributed to the project,  
23 according to each of those investment streams. So we're  
24 looking through different methodologies in ways of  
25 tackling that problem in the future, but thus far we have

1 basically just said here are the projects that are funded  
2 and supported through CTP investment and these are the  
3 benefits that accruing to them, and we don't really get  
4 into accounting for different funding mechanisms to  
5 support these projects yet.

6 MR. GEE: Great. Okay. Thank you very much.

7 I think that's all we have for the questions to  
8 be answered.

9 MS. RAITT: Great. Thank you, Quentin.

10 So, Commissioners, if it's okay with you, we'll  
11 move on to public comment. Do either of you have any  
12 comments?

13 So we have Dorothy Murimi from the Public  
14 Advisor's Office available to help manage the public  
15 comments.

16 Go ahead, Dorothy.

17 MS. MURIMI: Thank you, Heather.

18 So some instructions for everyone: So public  
19 comments will go as follows: one person for organization  
20 may give a comment. And comments are limited to one and a  
21 half minutes per speaker. And so I'll start with folks on  
22 Zoom and then move on to folks on the phone.

23 So folks on Zoom, if you'd like to indicate that  
24 you'd like to make a comment, use the raised hand feature.  
25 It looks like a high five. And folks that are on the

1 phone, press star 9 or dial star 9 to raise your hand.

2 We'll start with folks on the phone -- sorry --  
3 folks on Zoom. That is Robert Perry.

4 Robert Perry, apologies if I misstated your  
5 name. Please state your name, your affiliation, and give  
6 your comment.

7 MR. PERRY: Yeah. Hi. Can you hear me?

8 MS. MURIMI: Yes, we can.

9 MR. PERRY: Okay, great. Thank you. My name is  
10 Robert Perry. I'm with the consulting firm Synergistic  
11 Solutions. And I'd just like to make a comment kind of in  
12 support of and following up on Commissioner Monahan's  
13 observations concerning consumer adoption. I really think  
14 that consumer adoption is really what's going to drive the  
15 Clean Transportation Program. And so it's really  
16 important to be able to develop a strategy and a story  
17 that gives comfort to consumers that will induce them to  
18 buy an EV.

19 And, you know, while there's currently a lot of  
20 data concerning light-duty vehicles, it's going to be the  
21 transition to medium- and heavy-duty vehicles that's  
22 really going to open the flood gates because I think we're  
23 all aware of the effusive response to Ford's announcements  
24 of the F150 Lightning truck. This is America, America  
25 loves their trucks, they love their SUVs, they love their

1 RVs. And they like to be able to think that they go on  
2 trips and not have to suffer inconvenience.

3           So I think it would be really important to think  
4 hard about co-locating high-volume, high-capacity  
5 refueling stations next to utility-scale renewable  
6 generation. One example would be Kettleman Hills.  
7 There's like a massive solar facility being developed  
8 there and it would just make sense to site -- Kettleman  
9 Hills is also a fueling stop, and just to site a station  
10 there, and that would give comfort to consumers and move  
11 that along. I am out of time. Thank you.

12           MS. MURIMI: Thank you, Robert.

13           Next we will move on to J. Lu. Apologies if I  
14 misstated your name. Please state your name, your  
15 affiliation, and give your comment.

16           MS. LU: Hi. My name is Jennifer Lu,  
17 representing SoCalGas. Can you hear me?

18           MS. MURIMI: Yes, we can, Jennifer.

19           MS. LU: Okay. Thank you.

20           First I want to say thank you to the  
21 Commissioners Monahan and McAllister for putting this  
22 workshop together and to the CEC staff and panelists and  
23 the NREL staff for doing the benefit analysis.

24           At a recent discussion with Governor Newsom, Dr  
25 Remenetha (phonetic) from the University of California

1 argued that addressing short-lived climate pollutants must  
2 be an active greenhouse gas emissions reduction strategy,  
3 to have a chance at meeting global temperature targets.  
4 To be successful in addressing climate change head on,  
5 California must utilize the technologies we have now to  
6 bring down short-lived climate pollutants quickly, such as  
7 CARB's SLCP reduction strategy, which identifies  
8 biomethane capture and utilization for transportation.

9           Clean fuels like renewable and natural gas are  
10 vital for California to reach its decarbonization goals.  
11 Since April of 2019, SoCalGas has supported the RNG market  
12 by dispensing 100-percent renewable natural gas at all  
13 utility-owned refueling stations. CARB LCFS reporting  
14 showed that by the end of 2019, 98 percent of all natural  
15 gas used in motor vehicles was RNG. Furthermore, in  
16 September 2020, the RNG procured and dispensed at utility-  
17 owned refueling stations was deemed carbon negative. This  
18 goes well beyond carbon neutrality by eliminating  
19 greenhouse gases and short-lived climate pollutants that  
20 otherwise would have naturally occurred.

21           Thank you for the opportunity to make comments.

22           MS. MURIMI: Thank you, Jennifer.

23           I see one more raised hand. Michael Skvarla.  
24 You are unmuted. Please state your name, affiliation, and  
25 you may begin your comment.

1 MR. SKVARLA: Yeah. Thank you. Mikhael Skvarla  
2 with the Gualco Group, here on behalf of the California  
3 Hydrogen Coalition. I just wanted to thank the  
4 Commissioners, staff, and NREL for providing all of this  
5 data. And we look forward to taking a deeper dive into  
6 this, as I'm sure everyone else on the line does.

7 Whoa. I'm sorry. I think I just lost contact.  
8 Are you guys still there?

9 MR. HUNTER: We can hear you.

10 MS. MURIMI: Yes, we can hear you.

11 MR. SKVARLA: Sorry about that. Ear pods died  
12 and it's been a long hearing.

13 Again, we just appreciate the opportunity to  
14 dive into this data a little bit deeper and get a better  
15 sense of what's going on. It's clear that zero-emission  
16 vehicles are the future. And we look forward to building  
17 that future with the CEC and State of California. Thank  
18 you.

19 MS. MURIMI: Thank you, Mikhael.

20 I'm going to give another opportunity for people  
21 on Zoom to raise your hands.

22 Seeing no call-in users, again looks like a high  
23 five feature. Seeing no more raised hands, Commissioner  
24 McAllister, I will hand the virtual mic back to you.

25 COMMISSIONER MCALLISTER: Well, great, thank

1 you, Dorothy. Really appreciate your managing the public  
2 comment today and in all the workshops, so thank you for  
3 that.

4 I think we're done. Now I would maybe prompt  
5 Commissioner Monahan for any wrap-up comments, but I've  
6 learned a ton, lots of food for thought, and really  
7 appreciate the staff again just for -- I mean the rapid  
8 fire presentation of our program and everything that's  
9 going on at the Commission, it just gives a lot of comfort  
10 and sort of security that when we do get these huge  
11 infusion of resources that we know what we're doing with  
12 them and we can inject them into the right places in the  
13 economy and really hold the right levers and get the most  
14 bang for our buck in terms of working with stakeholders  
15 and developing technology and just the whole chain of  
16 activity in this sector. So it's great to know we have  
17 that expertise both inhouse and access to it in NREL and  
18 other partners out there.

19 And it's also just always wonderful, so now that  
20 I work directly with the R&D team and also on the path  
21 there's a lot of kind of overlap synergy between the  
22 electric and natural gas R&D that we do in the  
23 transportation sector, and you can just see that playing  
24 out here in today's workshop. So really, really  
25 heartening and very optimistic going forward. So with

1 that, I will pass it over to Commissioner Monahan.

2 COMMISSIONER MONAHAN: Thanks, Commissioner  
3 McAllister. Yes, thanks to the team at the Fuel and  
4 Transportation Division and at NREL for their  
5 presentations today.

6 You know as you saw, the NREL data we're able to  
7 analyze, with less than a billion dollars and we are  
8 getting some perspective in the latest budget, we have  
9 been allocated \$1.165 billion in addition to the current  
10 funds that we have, about a hundred million dollars per  
11 year through 2023 for the Clean Transportation Program.  
12 So we're going to be really focused on supplying those  
13 resources as effectively and quickly as possible, and meet  
14 the analysis, and the thinking that has gone on with the  
15 Fuels and Transportation Division in terms of evolving for  
16 them, really becoming more attentive to equity and to  
17 ensuring disadvantaged and low-income communities benefit  
18 from our investments them, are all going to feed into how  
19 the Division allocates the funds going forward. So it's  
20 an exciting time really in terms of moving forward an  
21 opportunity to accelerate the zero-emission transportation  
22 class in the state of California.

23 And the Energy Commission in collaboration with  
24 the Air Resources Board, the CPUC, other state agencies,  
25 you know, we're going to work hard to make sure California

1 can reach its goals and that we spend or fund wisely,  
2 ground on this data.

3 So just thanks to everybody for today. I really  
4 appreciated it.

5 COMMISSIONER MCALLISTER: So over to you,  
6 Heather, to close out.

7 MS. RAITT: I think we covered everything on the  
8 slide, how to submit comments, and they are due on August  
9 13th. Again, I misspoke at the beginning of this, but,  
10 yes, August 13th is when we request written comments. And  
11 that's it. So have a great rest of your Friday.

12 COMMISSIONER MCALLISTER: Thanks, Heather.  
13 Thanks, IEPR team. Really appreciate it. Well done.

14 (Whereupon, the Workshop was adjourned at 2:29  
15 o'clock p.m.)

16

17

18

19

20

21

22

23

24


25

**REPORTER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 25th day of August, 2021.



---


PETER PETTY  
CER\*\*D-493  
Notary Public

**TRANSCRIBER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 25th day of August, 2021.



Susan Palmer  
Certified  
Reporter  
CERT 00124