

DOCKETED

Docket Number:	20-LITHIUM-01
Project Title:	Lithium Valley Commission
TN #:	239800
Document Title:	Transcript for July 29, 2021 Meeting
Description:	Transcript of Lithium Valley Commission meeting held on July 29, 2021.
Filer:	Elisabeth de Jong
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	9/20/2021 10:00:46 AM
Docketed Date:	9/20/2021

STATE of CALIFORNIA
NATURAL RESOURCES AGENCY
CALIFORNIA ENERGY COMMISSION

In the matter of:) Docket No. 20-LITHIUM-01
)
The Lithium Valley)
Commission)

)
)

Transcript of the
LITHIUM VALLEY COMMISSION MEETING

held remotely by the

California Energy Commission
Warren-Alquist State Energy Building
1516 Ninth Street
Sacramento, California 95814

Thursday, July 29, 2021

In accordance with Executive Order N-25-20 and Executive Order N-29-20, the Meeting was held via the Zoom video/audio internet and via teleconference platforms.

Reported by:
Elise Hicks

APPEARANCES

LITHIUM VALLEY COMMISSIONERS PRESENT

Steve Castaneda

Rod Colwell

Roderic Dolega

Miranda Flores

James C. Hanks

Ryan E. Kelley, Vice Chair

Arthur Lopez

Luis Olmedo

Silvia Paz, Chair

Frank Ruiz

Thomas Soto

Jonathan Weisgall

Presenters/Panelists

Rizaldo Aldas

Alex Grant

Ian Warren

Michael Whittaker

Eric Smith

Derek Benson

Jim Turner

P R O C E E D I N G S

1
2 CHAIR PAZ: Welcome everyone. We're going to be giving
3 people a few minutes just to jump on to the Zoom meeting.

4 [Audio Silence]

5 I can see that people are joining, we're going to give
6 them just a little more.

7 [Audio Silence]

8 So, welcome everyone to the Lithium Valley Commission
9 Meeting. Before we get started, I will hand it over to
10 Elisabeth de Jong. She is the Energy Commission Project
11 Manager, and she will provide some brief housekeeping. So,
12 Elisabeth.

13 MS. DE JONG: Thank you so much. Sorry about that.

14 Alright. Well, as you will notice, today, we are
15 offering interpretation services for today's meeting. The
16 Spanish Channel is intended to provide members of the public the
17 ability to hear the entire dialogue of the Lithium Valley
18 Commission in Spanish and in real time.

19 To ensure that all members of the public have access to
20 the meeting under the Bagley-Keene, we ask that all of the
21 Lithium Valley Commissioners select and remain on the English
22 Channel for the entirety of the meeting, and preferably with
23 their cameras on.

24 All attendees who wish to join the English Channel,
25 please look for the small globe on the bottom of your Zoom

1 application and select the English Channel. Then click on
2 original audio.

3 The CEC's public advisor will be speaking to inform our
4 Spanish speaking audience about the need to select the Spanish
5 Channel if they prefer to listen to this meeting in Spanish.
6 There is an interpreter in the Spanish Channel, interpreting
7 everything said in English into Spanish.

8 So, please be patient with us today. This is our first
9 experience using the Zoom interpreting feature during the
10 Lithium Valley Commission Meeting. And I'll hand it over to
11 you, Noemi.

12 MS. NOEMI: [Speaking in Spanish 00:05:58 to 00:08:06]

13 Elisabeth, I have provided the instructions for people
14 who wish to use the Spanish Channel. If there's anything,
15 please let me know.

16 MS. DE JONG: Thank you. So, if you are joining us
17 today via a smartphone or tablet, you may need to find the
18 ellipses or "more" button to navigate to the interpretation
19 services. Again, all attendees should select a channel, either
20 English or Spanish.

21 If any members of the public in the Spanish Channel
22 have questions or public comments, they will be given the same
23 opportunity to engage in public comment throughout the agenda at
24 the same time that the chair opens the meeting for public
25 comment for all.

1 The interpreter will provide instructions to those in
2 the Spanish Channel, to be sure that all attendees can use the
3 raise hand feature and be called on to speak. The interpreter
4 will assist and translate the question or public comment into
5 English for the benefit of the commissioners and attendees in
6 the main English Channel.

7 Unfortunately, the Zoom interpretation function does
8 not work for attendees who are only joining by phone. So, our
9 attendees on the phone will hear only the English Channel of
10 this meeting.

11 So, before we get started today, I will hand it over ...
12 actually, sorry, I'm going to go ahead and go through to some
13 administrative items for the Lithium Valley Commission.

14 So, this meeting is being conducted entirely via Zoom.
15 This means that we're in separate locations and communicating
16 only through electronic means. We are meeting in this fashion
17 consistent with executive order N_08_21 to continue to help
18 California responds to, recover from, and mitigate the impacts
19 of COVID-19.

20 The public can participate consistent with the
21 direction in this executive order. This meeting is being
22 recorded as well as transcribed by the court reporter. The
23 transcript will be posted to the electronic docket. The
24 recording of the meeting will be available on the Lithium Valley
25 Commission web page.

1 The Spanish interpretation will not be recorded or
2 transcribed. Members of the public will be muted during the
3 presentations, but there will be an opportunity for public
4 comment on each agenda item and an additional opportunity for
5 public comments towards the end of the agenda

6 To provide public comment, please use the raise hand
7 feature in your Zoom application to be called on to speak. When
8 you speak, please provide your name and affiliation. If you've
9 called in by phone, you will need to dial *9 to raise your hand
10 and *6 to unmute yourself. Before speaking, please say and
11 spell your name for the court reporter.

12 There is also a Q&A window in the Zoom application,
13 which you may use to type your questions. If you want to
14 provide public comment, but are unable to raise your hand in the
15 Zoom application or by phone, then during the public comment
16 portion of the meeting, you may type your comment into the Q&A
17 window so we can relay your comments.

18 We'll read these instructions again during the time for
19 public comment. So, please remember to stay muted until you've
20 been called on to speak.

21 We also have a chat function available for IT support.
22 We ask that the Lithium Valley commissioners use the chat only
23 for IT support as well. Any other comments are considered
24 substantive to the conversation and should be made publicly and
25 orally for the public committee plans.

1 Alright, so we're going to go ahead and move on to your
2 roll call of Lithium Valley commissioners to determine a quorum.
3 I will call your name, please respond if you're present and turn
4 on your camera if you can.

5 Commissioner Steve Castaneda?

6 I'm just checking because I'm pretty sure he was here.

7 Okay. Well, I do not hear a response from Commissioner
8 Castaneda.

9 Commissioner Rod Colwell?

10 COMMISSIONER COLWELL: Present.

11 MS. DE JONG: Thank you.

12 Commissioner Roderic Dolega?

13 I do not hear a response.

14 Commissioner Miranda Flores?

15 COMMISSIONER FLORES: Present.

16 MS. DE JONG: Great. Thank you.

17 Commissioner Martha Guzman Aceves?

18 I do not hear a response.

19 Commissioner James C. Hanks?

20 COMMISSIONER HANKS: Here.

21 MS. DE JONG: Thank you.

22 Commissioner Ryan Kelley?

23 Okay. Alright. Commissioner Arthur Richie Lopez?

24 COMMISSIONER LOPEZ: Here.

25 MS. DE JONG: Great, thank you. Commissioner Olmedo?

1 COMMISSIONER OLMEDO: Here.

2 MS. DE JONG: Thank you.

3 Chair Silvia Paz?

4 CHAIR PAZ: Present.

5 MS. DE JONG: Great. Thank you.

6 Commissioner Frank Ruiz?

7 COMMISSIONER RUIZ: Present.

8 MS. DE JONG: Thank you.

9 Commissioner Manfred Scott?

10 I do not hear a response.

11 Commissioner Tom Soto?

12 COMMISSIONER SOTO: Here.

13 MS. DE JONG: And Commissioner Weisgall?

14 COMMISSIONER WEISGALL: I'm here. As I said earlier,

15 apologies. I'm traveling and managed to forget my camera, but

16 I'm participating but no camera.

17 MS. DE JONG: Thank you. I see Commissioner Castaneda

18 has hand raised.

19 COMMISSIONER CASTANEDA: Yeah, as you were taking roll,

20 unfortunately, I went to activate my camera and the whole thing

21 froze up. So, I had to reboot, so I'm here.

22 MS. DE JONG: Great. Thanks for clarifying, will mark

23 you as present.

24 Alright. And oh, Commissioner Roderic Dolega, I see

25 hand raised as well.

1 COMMISSIONER DOLEGA: Yeah, I'm here. I'm present.

2 MS. DE JONG: Thank you so much. Okay. Well, we have
3 at least eight members, so we have a quorum. Also, in
4 attendance today as Commissioner Douglas and advisors, as well
5 as advisors from Chair Hochschild's office both from the CEC.

6 And I wanted to take a moment to introduce a couple of
7 other additional CEC staff who have joined us Pam Doughman, who
8 has a PhD in Environmental Health Science and Policy. She has
9 been a lead author for many CEC research in Integrated Energy
10 Policy reports.

11 Dr. Doughman looks forward to working with the Lithium
12 Valley Commission to prepare its report for the legislature.
13 And Pam, if you're on, if you'd like to go ahead and say hi.

14 MS. DOUGHMAN: Hi. Thank you. I look forward to
15 working with the commission.

16 MS. DE JONG: Thank you so much. And one other person
17 I'd like to take a moment to introduce is Lauren Ella, who is a
18 summer fellow in the chair's office from Stanford.

19 So, Lauren, if you're there, go ahead and say hi.

20 MS. ELLA: Hi, I'm excited to work with the
21 commission. Thank you.

22 MS. DE JONG: Great. Thank you so much. So, I'll hand
23 the meeting back over to your Chair Paz.

24 CHAIR PAZ: Thank you again. Welcome, and I'm happy to
25 be back. I couldn't join in the last meeting. But here we are.

1 In front of you, you see the agenda for today. We've gone
2 through the welcome and roll call. So, we will be looking at
3 the approval of the actual minutes, we have information items
4 both from media and legislation, as well as any updates from the
5 Lithium Valley commissioners.

6 And then we're also going to be starting our first
7 workshop on the extraction methods for lithium. We will look
8 over the agenda topics for the upcoming month, and then there
9 will be a designated general public comment meeting at the end,
10 before we adjourn.

11 We're going to be asking if there are any questions on
12 the action minutes, or any discussion before we open it up to
13 public comment, and then for a vote.

14 If anybody needs Elisabeth to put the action minutes on
15 the screen, she is ready to do that, so just let us know.

16 Okay. I don't see anyone. Elisabeth, if we can have a
17 public comment?

18 MS. DE JONG: Yes. Thank you.

19 So, before we move to vote the approval of the past
20 meeting action minutes, we will open the floor to public
21 comments relating to last meeting's action minutes. Reminder,
22 that we will have opportunities for public comment later in the
23 agenda as well. And that the meeting action minutes are
24 available on the Lithium Valley Commission web page for this
25 meeting.

1 So, I'm going to check and see if there's any hands
2 raised. We'll turn first to hands raised in the Zoom
3 application. And then if you've called in, please dial *9 to
4 raise your hand and *6 to unmute your phone line. So, let's go
5 ahead and see if there's any comments.

6 Alright, Chair Paz, I don't see any. We'll go back to
7 vote.

8 CHAIR PAZ: Thank you. So, at this point, we'll
9 entertain a motion to approve the action minutes for the June
10 meeting.

11 COMMISSIONER WEISGALL: Allowed.

12 CHAIR PAZ: Thank you, Jonathan.

13 TOM: I pass.

14 CHAIR PAZ: Thank you, Tom.

15 Roll call, please.

16 MS. DE JONG: Thank you. So, when I call your name,
17 please, let us know your vote of yes or no to approve the past
18 meeting action minutes.

19 Commissioner Castaneda?

20 COMMISSIONER CASTANEDA: Yes.

21 MS. DE JONG: Thank you.

22 Commissioner Rod Colwell?

23 COMMISSIONER COLWELL: Yes.

24 MS. DE JONG: Thank you.

25 Commissioner Dolega?

1 COMMISSIONER DOLEGA: Yes.
2 MS. DE JONG: Thank you.
3 Commissioner Flores?
4 COMMISSIONER FLORES: Yes.
5 MS. DE JONG: Thank you.
6 Commissioner Hanks?
7 COMMISSIONER HANKS: Yes.
8 MS. DE JONG: Thank you.
9 Commissioner Lopez?
10 COMMISSIONER LOPEZ: Yes.
11 MS. DE JONG: Thank you.
12 Commissioner Olmedo?
13 COMMISSIONER OLMEDO: Yes.
14 MS. DE JONG: Thank you.
15 Chair Paz?
16 CHAIR PAZ: Abstain.
17 MS. DE JONG: Thank you.
18 Commissioner Ruiz?
19 COMMISSIONER RUIZ: Yes.
20 MS. DE JONG: Thank you.
21 Commissioner Soto?
22 COMMISSIONER SOTO: Yes.
23 MS. DE JONG: And Commissioner Weisgall?
24 COMMISSIONER WEISGALL: Yes.
25 MS. DE JONG: Great, thank you. The item passes with a

1 majority vote.

2 CHAIR PAZ: Thank you. So, at this point, we're going
3 to invite Richard Rojas to give us a legislative update.

4 MR. ROJAS: Are you all able to see my screen?

5 MS. DE JONG: Yes. Thank you.

6 MR. ROJAS: Okay. So, this is the legislative update
7 for July 29. In weeks past, July 14th was the deadline for
8 policy committees to hear and release their bills. If they
9 didn't get past the committee, there'd would be considered two-
10 year bills or dead for this year.

11 July 16th, the legislature went on their summer recess
12 and they will be gone until August 16th when they reconvene.
13 And that does not leave much time because the end of session is
14 actually September 10. So, it'll be two weeks between August
15 27th and September 10th for the fiscal committees to release
16 their bills and on the floor.

17 So, there are still three bills of interest to the
18 commission, but the first is AB 983. This is the Eduardo Garcia
19 Bill. And this relates to workforce contracts for construction
20 in battery manufacturing and lithium-based technology. This
21 bill amended on June 15th and was scheduled to be heard in
22 governance and finance committee.

23 And it was pulled by the author Eduardo Garcia, and
24 because it doesn't pass that committee, is held. This is now a
25 two-year bill, so this cannot be heard until January of next

1 year.

2 The next two bills are both Henry Stewart, SB 423,
3 requires the energy commission to put together an assessment as
4 part of the IBA Report. And the assessment is to assess
5 emerging renewable energy and fund zero carbon resources that
6 support a clean, reliable and resilient grid. And it
7 specifically calls out that California is the global leader in
8 solar energy and lithium-ion battery storage deployment.

9 And we need those increasingly and urgently to support
10 a reliable grid. So, that is the connection to lithium.

11 And SB 551, also, Stern, involves the California zero
12 emission vehicle authority. And the last version of the bill
13 was called the California Electric Vehicle Authority that
14 expanded to include hydrogen. So, this bill requires the
15 authority within the governor's office to coordinate the EV
16 charging infrastructure and fuel cell electric vehicle fueling
17 infrastructure.

18 And it also calls out the responsibilities of the
19 authorities to support and improve the battery supply chain,
20 including the use of lithium from the Salton Sea. So, those
21 three bills have connection with you all. I will stick the
22 three links to the three bills in the chat after this. And that
23 was all I had, unless you have any questions.

24 Thank you.

25 CHAIR PAZ: Now, we're going to invite the

1 commissioners to see if they have any updates regarding any
2 items with respect to Lithium Valley.

3 Elisabeth, I know that in the last meeting, I think you
4 probably just called on each one of us directly to see if we
5 have any updates. We can probably do that again. And just a
6 reminder that it's okay to pass if there's no updates at this
7 point.

8 MS. DE JONG: Yes. Thank you so much. So, when I call
9 in your name, you can go ahead and give your update.
10 Commissioner Castaneda.

11 CC: None, thank you.

12 MS. DE JONG: Commissioner Colwell?

13 COMMISSIONER COLWELL: Yeah, Elisabeth, is this is the
14 appropriate time to talk about the recent-

15 MS. DE JONG: Yes.

16 COMMISSIONER COLWELL: So, I'd like to I'm happily to
17 report the announcement of General Motors entering into
18 investment and long-term supply agreements with the Control
19 Thermal Resources.

20 I think it's a testament to all the solvency regional
21 Lithium Valley Commission, because what it's done is really six
22 months of sort of negotiation has really brought about the
23 technology, there's been this thing about technology and
24 technology risks.

25 I think that it's a testament to GM to really get

1 through that and also a testament to the community and how
2 they've sort of all come together on this commission among the
3 internal and external that with GM's vision, with Mary Barra's
4 vision to sort of source sustainable lithium. So, that was one
5 of the big drivers and localized supply.

6 Rather than I think simply speaking GM's announcement
7 has removed 30 chains from a supply chain, which traditionally
8 would have went from maybe South America or Western Australia to
9 Asia for processing and then sent back. So, by localizing that
10 opportunity, it's a very intelligent move.

11 So, we're all full steam ahead on that. And I think
12 sort of moving forward from what's beyond the bag of lithium, is
13 that cathode here in Imperial Valley, is that batteries here in
14 Imperial Valley, and that's where the discussion's really
15 starting to go. So, I applaud the community, the commission,
16 General Motors' vision, and it's a very exciting step for all of
17 us. Thank you.

18 MS. DE JONG: Thank you very much.

19 Commissioner Dolega?

20 Okay, we might come back if we're able to get him.

21 And Commissioner Flores?

22 COMMISSIONER FLORES: No update at this time, thank
23 you.

24 MS. DE JONG: Thank you.

25 Commissioner Hanks?

1 COMMISSIONER HANKS: Yes, just real short. I guess as
2 most people know, I'm centered here in Imperial Valley and my
3 division covers the geothermal now in resource area. And I'd
4 just like to say that there are negotiations going on for
5 leases, also contracts being issued for site control. There are
6 contracts being negotiated for the purchase of power and also
7 lithium.

8 But it is very critical that I think as a commission
9 that we start discussing some of the incentives. Personally, I
10 would like to hear a discussion on developing an enterprise zone
11 and also the importance of Assemblyman Garcia's bill, and moving
12 it forward, come January 1st.

13 If we don't move on some of these important issues, I'm
14 afraid that some of the ancillary businesses could leave our
15 state. And our state and our region especially, really needs to
16 benefit from the efforts being put forward in the development of
17 lithium in our region. Thank you.

18 MS. DE JONG: Thank you very much. I see, it looks
19 like Commissioner Ryan Kelley has joined, and he's actually next
20 on the list. So, if you want to go ahead and say hello, and if
21 you can jump right into a short update.

22 COMMISSIONER KELLEY: Hello. I have nothing to add.
23 I'm in agreement with Mr. Hanks, that ancillary business should
24 be something we discuss. And I hope that maybe at a future
25 presentation, we could have the Business and Trade Go-Biz, be

1 able to speak about what efforts they're putting forward.

2 MS. DE JONG: Alright, great. Thank you. And let me
3 see, Commissioner Lopez?

4 COMMISSIONER LOPEZ: Yeah, nothing at this time.

5 MS. DE JONG: Thank you.

6 Commissioner Olmedo?

7 COMMISSIONER OLMEDO: No comments at this time.

8 MS. DE JONG: Thank you.

9 Chair Paz?

10 CHAIR PAZ: None at this point, thank you.

11 MS. DE JONG: Thank you.

12 Commissioner Ruiz?

13 COMMISSIONER RUIZ: No updates at this time.

14 MS. DE JONG: Alright, thank you.

15 Commissioner Soto?

16 COMMISSIONER SOTO: None at this time.

17 CHAIR PAZ: Thank you.

18 And Commissioner Weisgall?

19 COMMISSIONER WEISGALL: Just a quick update. I think
20 most folks know this, but the day after our last meeting, I
21 think that was June 24. So, on June 25, the CPUC issued an
22 order mandating that by June 1, 2026, load serving entities
23 procure at least a thousand megawatts of generation capacity
24 that has no onsite emissions, that has at least an 80% capacity
25 factor, cannot be weather dependent, and does not involve

1 storage.

2 So, that pretty much narrows that procurement to
3 geothermal, possibly biomass. I think this order is
4 extraordinarily important for geothermal and dovetails
5 beautifully with lithium development. As lithium development
6 proceeds, having this additional requirement for geothermal
7 procurement, I think will just go hand in hand with lithium
8 development.

9 So, I think it's a very positive development and really
10 congratulations to all the CPUC commissioners for having the
11 foresight to issue this order, as well as the additional 11,500
12 megawatts, well, 12,000, I guess you can include the long
13 duration storage to move forward to reach California's clean
14 energy goals.

15 MS. DE JONG: Thank you. I just want to circle back if
16 Commissioner Dolega is on?

17 COMMISSIONER DOLEGA: Yeah, I'm on line. Sorry about
18 that. Had a screaming child incident. Nothing to share right
19 now.

20 MS. DE JONG: Alright. Thank you.

21 SPANISH INTERPRETER: [Speaking in Spanish 00:30:58].

22 MS. DE JONG: Great. Thank you so much.

23 SPANISH INTERPRETER: [Speaking in Spanish 00:31:05]

24 MS. DE JONG: Okay. So ... oh, I'm sorry. I heard
25 someone.

1 CHAIR PAZ: I think we're hearing the translator.

2 MS. DE JONG: Noemi, I'm wondering if you could help us
3 with that.

4 SPANISH INTERPRETER: [Speaking in Spanish 00:31:26]

5 MS. DE JONG: Alright. Well, actually, if I can ...
6 Chair Paz, I may recommend that we take a 10-minute break. That
7 will give us an opportunity to get the presenters lined up for
8 the upcoming item and also resolve the translation or the
9 interpretation services.

10 CHAIR PAZ: Yes, does that work with everyone? 10-
11 minute break?

12 PARTICIPANT: Yes.

13 MS. DE JONG: Okay, great. We'll come back at 2:10
14 then. I'm going to go ahead and pause the recording.

15 [Off Record from 00:32:08 to 00:43:40]

16 VOICEOVER: Recording in progress

17 MS. DE JONG: We're back, thank you everyone for your
18 patience. We're just trying to troubleshoot as this is our
19 first attempt at doing Spanish interpretation during the
20 meeting. There is a Spanish Channel, if you find the
21 interpretation globe emblem on your Zoom app and select the
22 English or Spanish Channel, you should be able to join the
23 meeting and hear the meeting in Spanish as well.

24 And we're ready to go back to kicking off the Lithium
25 Extraction Methods Workshop. Chair Paz, if you could go ahead

1 and get us started.

2 CHAIR PAZ: Yes. Thank you. Thank you everyone for
3 your updates. So, today, we're going to be starting with our
4 first workshop and this one is on the topic of Lithium
5 Extraction Methods. Let me see. I think I've lost my place
6 with description.

7 So, AB 657 describes this section, it's actions that
8 will support the further development of geothermal power that
9 has the potential to provide the co-benefit of lithium recovery
10 from existing and new geothermal facilities. So, the
11 conversation will be grounded around this topic.

12 And we have different presenters that we're going to be
13 starting with. They will then be followed by a panel discussion
14 that will be moderated.

15 Our first speaker is Rizaldo Aldas. He will be giving
16 us an overview of the CEC funding for geothermal lithium
17 projects. Rizaldo?

18 MR. ALDAS: Thank you, Chairman Paz, and good
19 afternoon, everyone. Again, I'm Rizaldo Aldas, I'm with the
20 Energy Research and Development Division of the CEC. I would
21 say that I'm lucky that we have a great lineup of speakers and
22 experts from the industry and research institution. So, I can
23 skip a lot of typical background introduction and just quickly
24 go over and provide a high-level overview of our R&D projects on
25 lithium recovery.

1 So, next slide, please.

2 I will start by framing the mineral recovery and
3 lithium, in particular, as a key component of our geothermal
4 research and development program. Geothermal R&D is addressing
5 various technological gaps and needs and the economics of
6 mineral recovery and help the state meet its clean energy goals.

7 Funding for geothermal activities comes from the
8 electricity program, which is the process known as the PIER
9 Public Interest Energy Research, and now, the EPIC or
10 Electricity Program Investment Charge and the Geothermal Grant
11 and Loan Program also commonly known as GRDA administered by the
12 CEC's Renewable Energy division

13 Next slide, please.

14 So, here's a list, for example, of past projects, going
15 back to early 2000 that explored recovery of co-products like
16 silica and lithium. And some of these projects are foundational
17 and provided valuable technological and business lessons.

18 In particular, I'm highlighting the work of Simbol on
19 not just lithium, but also other minerals like manganese, zinc,
20 and potassium. Simbol did several iterations to introduce seven
21 for lithium extraction and in the process, they identified these
22 steps that need to be addressed.

23 For instance, silica management and purification.
24 Impurities in particular are significant because any product
25 processing needs additional cost of the whole system.

1 And at the time, Simbol demonstrated the potential
2 viability of a commercial plan for producing battery grade
3 lithium carbonate.

4 Next slide.

5 Alright. So, in this slide, I'm featuring the project
6 title Well to Wheels Lithium Design by EnergySource Minerals.
7 This is a recently completed project from Resources Renewable
8 under division Geothermal Grant & Loan Program. And the funding
9 for this project was made possible through SB 1074, authored by
10 Senator Ben Hueso.

11 So, in this project, ES Minerals performed detailed
12 engineering and the design, facility confirmation, product
13 certification and construction posting to generate an integrated
14 engineering package with an accurate cost estimate to reduce the
15 uncertainty around installed cost of a commercial plant.

16 Derek Benson of EnergySource Minerals, he is in the
17 panel today and will be talking about their lithium activities.

18 Next slide, please.

19 Alright. Switching onto the EPIC RD&D on lithium
20 recovery. Our current program supports two main areas.

21 First is on, I would call lower technology readiness
22 level activities that is focused on improving process and
23 technology for lithium recovery. This includes development and
24 pilot demonstration of systems or subsystems or components to
25 capture lithium from geothermal brine.

1 And the second area is more on supporting larger scale
2 fuel demonstration. There are certain costs, the economic
3 parameters and really, we would like to achieve cost parity, not
4 exceeding the cost of commercial lithium production methods,
5 which you will hear more in the next presentation.

6 Next slide, please.

7 Under the area of improving process and technology for
8 lithium production, this featured project from Hell's Kitchen is
9 more on pretreatment process. The first project is designing a
10 pretreatment process based on the chemical composition of the
11 geothermal fluids at the project site and will demonstrate its
12 technical performance on a pilot scale. For the process, we'll
13 remove silica and heavy metals and essentially, make the brine
14 ready for a subsequent extraction of lithium.

15 The second project below, is I would say geared more
16 towards enhancing the plant performance of geothermal including
17 greater opportunity for flexible operation. The team is working
18 with the Pacific Northwest National Laboratory to develop and
19 demonstrate a new and innovative method managing silica using
20 radical GMEPS or Geothermal Micropillar Enabled Particle
21 Separator which separates solid particles based on their size.

22 I included it here because silica management is from a
23 number of steps in lithium recovery and this has potential, I
24 think in helping record such a step. And I think Jim Turner of
25 Controlled Geothermal Resources is also a panelist and will be

1 talking more about their lithium recovery activities.

2 Next slide, please.

3 Moving on from pretreatment, our project focus on the
4 development of sorbents from the lab through pilot scale
5 demonstration. So, in an earlier project funded by EPIC, SRI
6 International developed and demonstrated in the lab a new high-
7 capacity selective sorbent which is comprised of inorganic
8 lithium-ion sieves, and lithium-imprinted polymers.

9 And a part of that is developing a new eco-friendly
10 sorbent regeneration process that leads to the direct formation
11 of high-purity in lithium carbonate.

12 In a new project that we are funding with Materials
13 Research, Materials Research is taking the next steps needed to
14 bring that new high-capacity sorbent closer to commercial use
15 through a pilot scale demonstration. So, their project will
16 demonstrate and verify how new technology could lower the cost
17 of lithium production by enabling separation with higher
18 recovery efficiency and minimizing the cost and time.

19 Next slide, please.

20 Moving on to the deployment and demonstration project
21 with BHER Minerals, this project will design, build and
22 demonstrate and integrate the lithium recovery recover system at
23 existing geothermal power facilities. The brine processing rate
24 of at least 100 gallons per unit.

25 The entire system will include brine pretreatment, ion

1 exchange, lithium extraction, which is the core of that entire
2 process. And the subsequent post-treatment of lithium-depleted
3 brine.

4 So, there are several metrics and benefits that this
5 project will demonstrate and examples of that are listed in this
6 slide including the target cost of production, environmental
7 impact minimization, freshwater usage and lithium recovery
8 efficiency.

9 And Eric Smith from BHE Renewables is also in the panel
10 and will be discussing about the other lithium project from the
11 BHER.

12 Next slide, please.

13 So, I just want to mention that we are in the process
14 of developing the 2021 to 2025 EPIC Investment Plan also known
15 as EPIC 4, and we would like to propose as part of the plan for
16 funding for lithium recovery research and development, and some
17 of the topics that we are exploring for that plan, include
18 continuing the development or developing ways to improve
19 performance and cost of lithium extraction.

20 We are exploring economic opportunities for more cost-
21 effective recovery of other valuable co-products or minerals.
22 And zinc is one of the examples for that, and supporting new
23 commercial demonstrations of mineral recovery systems.

24 And next slide, please.

25 Lastly, I would also like to add that next week on

1 August 4, the CEC R&D division will be holding an EPIC workshop
2 to present a draft, set up R&D initiatives that welcomes the
3 EPIC 2021 to 2025 Investment Plan or EPIC 4.

4 And that will include the lithium recovery R&D topics
5 that I had mentioned in the previous slide. This is an
6 opportunity to provide feedback on R&D initiatives in general
7 and in lithium topics, in particular.

8 So, I would like to invite you all to participate and
9 listen in that workshop and send your comments and suggestions.
10 Links are provided in the slide. I think that's it, thank you.
11 And looking forward to the continuation of the discussion.

12 CHAIR PAZ: Thank you. I know there'll be time for
13 questions at the end, but if any of the commissioners have any
14 burning question for Rizaldo? Couldn't see any.

15 Okay next, I want to bring up Alex Grant, and let him
16 introduce himself.

17 MR. GRANT: Thanks Silvia. Okay. It's nice to be
18 here today. Thanks to Jonathan at BHE and Elisabeth for
19 inviting me. It's a pleasure to kind of share a broad overview
20 of what's happening in the DLE space globally.

21 And to give Californians some solace in the fact that
22 the technology development cycle that enables geothermal lithium
23 is already decades old. So, this is a kind of positive kind of
24 silver lining to the story, in my opinion.

25 Elisabeth, could you go to the next slide please?

1 Oh, God, I have animations. Why don't we just fill up
2 the slide? Yeah, let's do that.

3 Okay. So, I'm Canadian, I did undergrad in chemical
4 engineering and a master's in chemical engineering. I went on
5 to co-found a technology company called Lilac Solutions, which
6 is a lithium extraction technology company in Oakland.

7 And two years ago, I left to be independent and I
8 started consulting across the lithium industry, studying all the
9 different types of technologies used to make lithium chemicals.
10 And a lot of my work now is also in lifecycle assessment of
11 lithium chemical manufacturing, trying to understand the
12 environmental impacts of extracting and processing lithium,
13 because we have one big opportunity right now to kind of control
14 the environmental impacts of lithium manufacturing before a
15 whole bunch of infrastructure is built.

16 So, it's really exciting to me to have the opportunity
17 to kind of help shape what that future manufacturing capacity
18 looks like.

19 So, next slide, Elisabeth.

20 Kind of already started running into the slide, I
21 guess. But this is just a little snapshot from my website. I
22 publish a lot of research on lithium extraction and processing
23 and environmental performance of making battery metals and other
24 topics. So, I've worked on brine projects around the world,
25 sedimentary clay projects, like those in Nevada and Europe.

1 I've done projects with technology companies and
2 investors and have in the last year and a half done quite a bit
3 of work on lifecycle assessment as well. Just to kind of set
4 the scene and kind of give folks an understanding of who I am
5 and what I'm doing.

6 So, next slide, Elisabeth.

7 So, I'm not a market person, I don't do cost curves and
8 demand projections and things like this. But I just wanted to
9 put in kind of one half-slide here just mentioning, and really
10 just framing the fact that demand for lithium is growing
11 exponentially. And 80% of 2030's lithium supply does not exist
12 yet.

13 So, there's this tremendous opportunity to right now,
14 shape what that supply looks like. And there's no time to wait.
15 So, that's why it's so important to be working on these problems
16 now.

17 Next slide.

18 A question I get some times is, is there enough with
19 you to make all the batteries? The answer is definitely yes.
20 There's a lot of lithium in the ocean, for example. There's a
21 lot of lithium in geothermal brines for that matter as well.

22 Kind of a better question is how will we make that
23 lithium? And geothermal lithium production is just one process
24 route from natural resource to battery chemical of many. And a
25 couple of that I'll talk about at a super high level here today.

1 But what I want to share on this slide is the idea that
2 historically, really only the highest concentration, highest
3 purity lithium resources were developed to serve legacy markets.
4 And as we grow the lithium industry by 5x in the next nine
5 years, we're going to have to start developing resources that
6 contain higher impurities and lower concentrations, which
7 require more energy and more reagents to process, and
8 fundamentally different technologies such as direct lithium
9 extraction which is being used at the Salton Sea.

10 Next slide.

11 So, just kind of super high level on lithium natural
12 resources, geothermal brines are just one of many potential
13 natural resources to make lithium chemicals from including other
14 types of brines like oilfields, salars, theoretically, the
15 ocean, waste streams.

16 There are a number of different pegmatite or hard rock
17 natural resources that are being developed and mined
18 commercially today, like Spodumene, Petalite, Lepidolite,
19 Zinnwaldite, and sedimentary clays, which are fundamentally
20 different from hard rock. They're more like dirt instead of
21 like crystals. And they're processed differently.

22 Those are the types of resources you may have heard
23 about at Thacker Pass in Northern Nevada or the clays that Tesla
24 appears to be developing in Central Nevada with a salt
25 extraction process, which is very interesting. So, I share this

1 kind of as background to show that geothermal brines are just
2 one type of resource, very compelling type. But there are
3 certainly many other options.

4 Next slide.

5 I kind of have more to look at later. But really, the
6 take away here is that all of these different types of resources
7 can be processed in very different ways. And that is really due
8 to the thermodynamics and the nature of those resources. And
9 even within the same resource, there are many different ways to
10 make a lithium chemical from it, with different cost structures,
11 different environmental impacts, using different technologies,
12 et cetera.

13 Next slide.

14 Also, we need to kind of look at later, but like I was
15 mentioning as demand is growing rapidly, people have started
16 developing natural resources with lower concentrations at higher
17 impurity profiles. And that has led to the CO2 intensity of
18 making battery chemicals actually increasing as demand increases
19 as we start developing these kinds of less desirable resources.

20 So, it's absolutely critical that we implement new
21 technology to kind of circumvent the CO2 emissions of other
22 environmental impacts, which could be incurred if that new
23 technology is not deployed.

24 Next slide.

25 So, this is just really quickly, one quick example of

1 two evaporative brine projects in South America, one in Chile
2 and one in Argentina.

3 The one on the left has been operating for about 25
4 years in Chile using pure evaporation. So, no direct lithium
5 extraction technology, similar to what's being used in the
6 Salton Sea.

7 On the right, more reagent-intensive processes, and more
8 energy are being used to remove impurities from the brine to
9 make lithium chemicals. As more brines like that are developed,
10 these kind of environmental impact questions become more and
11 more significant and geothermal brines essentially become more
12 competitive as costs and impacts go up elsewhere.

13 Next slide.

14 So, Enter DLE. So, I've already mentioned it but
15 direct lithium extraction is a way of processing brine, natural
16 resources, which are high-salt content waters found in nature.
17 Using a selective site on an engineering material to remove
18 lithium from that solution without the need to remove the water
19 and impurities, not all of the impurities necessarily.

20 DLE has been used in Argentina for two decades already,
21 a particular type of DLE, which I'll talk about in a second.
22 And that approach has been kind of copied and modified by a
23 couple of different folks in China.

24 So, today, there are between 5 and 10 different brine
25 operations in Shanghai, in Western China, which use this type of

1 approach to make lithium chemicals. And that's operating today.
2 That's not a science project. It does not require already
3 funding. It is literally making lithium chemicals today.

4 So, yeah, I really wanna emphasize DLE is not new.
5 We're able to learn a lot from these projects, both the main one
6 in Argentina and the ones in China, and we can deploy some of
7 those learnings on the Salton Sea in some circumstances.

8 I think I have some silly animations again, Elisabeth.
9 If you want to fast forward five.

10 I just thought I shared a slide from Livent's
11 sustainability report from 2020, where they talk about their
12 extraction process.

13 So, until only very recently, not very many people
14 understood that they were actually using DLE technology in
15 Argentina already. And as of 2019, they started publishing
16 about it in their sustainability report.

17 So, you'll hear it from project developers and
18 technology developers that their technology increases lithium
19 recovery, reduces land footprint, potentially reduces water
20 footprint, removes the need to evaporate water from brine, et
21 cetera.

22 It's really critical to realize that some of these
23 advantages have already been realized in Argentina for years.
24 And this has already really had commercial attraction. Recently
25 BMW signed the off-state contract with Livent for five years and

1 they specifically mentioned their technical approach to
2 extraction as a reason why they gave Livent that contract.

3 So, kind of intuitively, in the minds of laypeople and
4 also in the minds of lithium buyers and OEMs, this is a more
5 sustainable and desirable approach to make lithium chemicals
6 from brines.

7 Next slide.

8 So, just kind of just to initiate any outsiders here,
9 there are three main types of direct lithium extraction
10 technologies; adsorption, ion exchange, and solvent extraction.

11 Livent and most of the operators in China use
12 adsorption. And there are a number of kind of different
13 technologies in development that are looking to use ion
14 exchange, solvent attraction and some other less promising
15 approaches which I won't talk about too much because I don't
16 want to go too far deep into the technical weeds.

17 But I share this slide just to just emphasize that just
18 as there are many different ways to make lithium chemicals from
19 natural resources, many different ways to make lithium chemicals
20 from brines, even geothermal brines, there are many types of
21 DLE. I'm tracking, I think, over 70 in development and
22 operation today. So, it's a very colorful and global space that
23 goes way beyond just geothermal brines in California.

24 Next slide.

25 Yeah, so before I kind of hand off to Ian, I wanted to

1 share this slide too just to kind of start framing the
2 geothermal context. So, geothermal brines are a very different
3 type of brine from the types of brines that were processed in
4 Argentina and Chile. For the most part ... do you want to go one
5 more click further, Elisabeth?

6 The vast majority of the brines that are producing
7 lithium chemicals today are in that box of temperature and
8 pressures, so they are low pressure and low temperature
9 resources. Geothermal brines are of course, totally different,
10 very high temperature and potentially high pressure in some
11 cases when it's delivered to the lithium extraction process.

12 So, these different thermodynamic conditions, the high
13 temperature, the high-pressure lead to different chemistry
14 because it leads to different types of materials being dissolved
15 in the brine from the geology underground.

16 So, so though DLE has been used for decades in
17 Argentina, I want to emphasize that geothermal brines are quite
18 different and require specific and kind of unique processing to
19 make them amenable to lithium extraction. And I think that when
20 Rizaldo was talking about some of the programs the CEC has
21 funded in the past, that's to some extent reflected in what the
22 CEC has already been kind of helping people work on.

23 Next slide.

24 That's it from me. So, I am very find-able on the
25 internet. Please reach out if you have any questions, I'm happy

1 to chat. I'm happy to help the CEC and the California
2 government kind of understand the lithium opportunity and
3 understand the needs of these developers. And I really wish
4 everyone the best. I hope that all these projects get built
5 because every 20, 30, 40,000 ton per year project that can be
6 built in Salton Sea is a giant open-pit somewhere else that
7 doesn't have to get built.

8 So, that's a really exciting and important prospect.
9 So, yeah, that's it for me.

10 CHAIR PAZ: Thank you. Again, if any of the
11 commissioners at any point have any questions, you can raise
12 your hands. Otherwise, we will have a Q&A section at the end,
13 after the panel discussion.

14 And we're going to be giving out just a short break
15 while the next presenter gets settled, a quick break for the
16 interpreters to switch. So, Elisabeth, just let us know when
17 you're ready.

18 MS. DE JONG: Thank you. And this should only be about
19 30 seconds. So, please stay seated, we'll be with you in a
20 minute.

21 [Off Record 01:08:47 to 01:09:30]

22 MS. DE JONG: So, we will now invite Ian Warren.
23 Again, they will introduce themselves.

24 MR. WARREN: Okay, hi everyone, I'm Ian Warren, I'm a
25 Senior Geoscientist at the National Renewable Energy Lab. And

1 apologies in advance that I don't have a nice picture like Alex
2 does. I'm going to turn off my camera just to preserve some
3 bandwidth, so I don't have any issues.

4 This project ... one little thing I want to do -- in the
5 chat, I just posted a link to a technoeconomic analysis lithium
6 extraction from geothermal brines report that was completed late
7 last year, and that's sort of where this presentation is
8 evolving from.

9 Next slide, please.

10 MS. DE JONG: And if I could just really quickly
11 interject, that the report is also available on the Lithium
12 Valley Commission docket, and in the resources document posted
13 on the Lithium Valley Commission web page. Thank you.

14 MR. WARREN: So, thanks again, Alex, for kind of
15 setting the stage. The figures you're looking at here is a lot
16 of colored dots to relay the lithium concentrations in
17 geothermal fluids. Most importantly, the Salton Sea geothermal
18 fluids have some of the highest concentrations out of that very
19 broad occurrence of lithium in geothermal brines.

20 And if you look at the histogram, that figure --
21 apologies for some of the small numbers. But over on the right-
22 hand side, it's 20 to 400 milligrams per kilogram, the sampled
23 fluids. And it's a very small portion of geothermal fluids that
24 have been sampled and stated in the US, so it makes the Salton
25 Sea really, really important place to consider lithium

1 extraction.

2 Salton Sea resource, there are several numbers out
3 there. One is that there's potentially 15 million metric tons
4 of lithium to be recovered. It might be recovered at rates as
5 high as 600,000 metric tons of lithium carbonate equivalent per
6 year.

7 And just to put that sort of goal into perspective, if
8 took sort of the modest concentration of say 200 milligrams per
9 kilogram lithium in the fluid, and you looked at the 2019
10 throughput of all the Salton Sea power plants, there was about
11 127,750 metric tons of lithium carbonate equivalent if you had
12 quantitatively removed up lithium. So, quite an impressive
13 resource.

14 Next slide, please.

15 So, Alex pointed out that direct lithium extraction
16 technology has been around and actually working on a commercial
17 level for a couple of decades. People have been thinking about
18 extracting lithium and other elements from geothermal fluids for
19 quite a long time.

20 You know, as early as the 1960s, they were thinking
21 about it in New Zealand and at the Salton Sea, where we have
22 such high concentrations. There was serious effort beginning to
23 be put towards the possibility of extracting metals and
24 including lithium and other compounds.

25 In the s70s and 80s, the US Bureau of Mines got

1 involved with funding research very much focused on precious and
2 base metals.

3 In the 80s and 90s, industry began getting involved
4 with Dow Chemical Company and they began sort of what is looking
5 to be one of the favored direct lithium extraction technologies
6 with their focus on developing novel ion exchange materials.

7 In the 90s and 2000s, some really important things took
8 place, notably Simbol had pilot tests at EnergySource in
9 CalEnergy facilities.

10 And by the 2010s we had players like EnergySource,
11 Controlled Thermal Resources, Berkshire Hathaway, and others
12 beginning to think about how to pursue lithium extraction
13 commercially.

14 And then today, we've got CEC funded projects that were
15 discussed earlier, and that's sort of really pushing us to the
16 next level of where this needs to go and with proper focus at
17 Salton Sea where we have the highest lithium concentrations.

18 Next slide, please.

19 So, DOE has been supportive of extraction of lithium
20 from geothermal resources for quite a while. They were along
21 with CEC, they were part of funding the supported Simbol pilot
22 plants. You know, some very important work came out of that
23 focused on advances in silica management, the actual lithium
24 extraction, purification concentration, and then conversion into
25 final products for sale.

1 They achieved 95% extraction of the lithium using
2 lithium aluminum, double hydroxide chloride materials. That
3 sort of was something that grew out of that earlier work that
4 became the Dow Chemical. And at the end of the day, they
5 claimed 90% yield and they had a concentrated lithium chloride
6 stream that they were able to turn into a purified final
7 product.

8 Unfortunately, that project ran into what seems to have
9 been business difficulties. And it seems like they had
10 technical success and the process itself was likely or
11 potentially economically successful, but there were other issues
12 that sort of led to the end of Simbol.

13 There was ongoing funding that included again, some
14 focus on novel ion exchange resins and processes. CEC was also
15 involved in those later rounds. And so, there's been some
16 support more recently from DOE and CEC that's continuing. And
17 that's obviously important to get us where we need to be.

18 Next slide, please.

19 So, I am not a chemical engineer like Alex, I'm a mere
20 geoscientist, but don't want to get into the weeds of all the
21 different things that might be done, but there's quite a bit of
22 direct lithium extraction technologies that might be applied to
23 the extraction of lithium from geothermal brines.

24 The Stringfellow and Dobson, 2021 is a great report.
25 They get into the details of a lot of these processes. But at

1 the end of the day, any of these things are ... the research is
2 really pushing towards improved sorbent selectivity, improved
3 tolerance for interfering ions. That's the impurities that
4 travel along in the fluid that you want to get out so you can
5 make your final high-purity product. And then just making that
6 extracted lithium that much pure and products that are converted
7 to.

8 And then the direct lithium extraction processes,
9 companies that are out there (and I'll get to that in the next
10 slide) -- they're looking at adsorption, ion exchange, and
11 solvent extraction processes to extract lithium from brines.

12 Next slide, please.

13 So, this is a table -- again, this all comes out of a
14 technoeconomic analysis of lithium extraction from geothermal
15 brines. And one of the foremost challenges with that was that
16 there's not really a commercial baseline and there's very
17 limited public data to give you details about costs and
18 technology and performance.

19 That said, we were able to look at public companies
20 that are listed on public exchanges that have rules about
21 reporting on projects. And so, a range of brine types are being
22 advanced towards commerciality, hopefully for these companies.
23 And so, it was reporting from these companies that really drove
24 the technoeconomic analysis.

25 In addition to that, modeling by Ventura et al, is the

1 far-left column for Salton Sea, that was driven by some modeling
2 and some experimental work. And then scaling that up to see
3 what a commercial endeavor might look like.

4 So, the takeaway from this is that we have to be aware
5 that this is coming from companies that are by their nature
6 promotional. So, they might be a bit overly optimistic, but the
7 estimated costs for extraction of lithium from these range of
8 brines not just geothermal -- ranged from about \$3,200 up to
9 about \$4,300 per metric ton, lithium carbonate equivalent.

10 And it's important to point out that it's typical for
11 the industry, but they are basically taking the OPEX and
12 dividing it by the metric tons produced per year. And so,
13 there's a missing cost piece in there, generally that relates to
14 financing costs.

15 And so, we need to keep in mind that this is really
16 sort of what the OPEX cost of the metric ton is. And any live
17 commercial project is likely to have a component of additional
18 costs just related to however the financing is organized, and
19 then additional other things including marketing, transport, and
20 taxes.

21 So, there's a few other things that may not be captured
22 in these costs. So, these are really about the process and what
23 it takes to get the lithium product produced at the end of the
24 day.

25 And just down there in the lower right-hand corner,

1 this week, or at least earlier this week, spot costs of lithium
2 carbonate were \$14,000 per metric ton. So, based on what these
3 companies had done, and so anywhere from models to bench tests
4 up to what's been called mini pilot tests, what they're telling
5 the investment community is that they can likely produce a
6 metric ton of lithium carbonate at a cost that makes them
7 competitive in the current marketplace.

8 Next slide, please.

9 So, the important thing about the Salton Sea is not
10 only that we have a fluid that has concentrated lithium, but
11 it's an incredibly, incredible good geothermal resource. In
12 2020, greater than 120 metric tons of fluid were produced
13 through the power plants producing greater 2.9-gigawatt hours of
14 electricity. And that might be able to be doubled or more if
15 all the resource was exploited.

16 So, if you can go ahead and take advantage of
17 geothermal power plants and adding on, or building geothermal
18 power plant along with lithium extraction together, that
19 provides power for processing. Alex mentioned the thermodynamic
20 challenges, the power production takes care of quite a bit of
21 that because you get heat rejection through the power process,
22 and you also are dropping it down to a much lower pressure for
23 the power production process.

24 And I put this figure, and it's a very simple schematic
25 of power production process at Salton Sea. And you can notice

1 that there are crystallizers, there are clarifiers, there's a
2 filter press. All those things are components that clean the
3 fluid and actually make it a little bit better for the start and
4 beginning of the lithium extraction process.

5 So, it makes quite a bit of sense to take Salton Sea
6 fluid to make geothermal power. And then before you reinject
7 that fluid, that's the stream from which you can extract the
8 lithium. And I mentioned that at the bottom, you might want to
9 do a standalone as well.

10 Next slide.

11 You anticipated me perfectly. I didn't even have to
12 ask. Yeah, there.

13 So, another issue with trying to do a technoeconomic
14 analysis is the way ... this was funded by the Geothermal
15 Technologies Office. And the way the project was set up, we
16 weren't going to be doing complicated chemical engineering and
17 process models. We were really just going to be looking at what
18 was out there in the world and sort of putting a snapshot
19 together where things stand.

20 And we're not picking sides. We're not saying this is
21 better or this is work. But for a detailed Salton Sea lithium
22 extraction example, EnergySource's patent application documents
23 actually have some of the most detail. And so, that's what I'm
24 going to show here.

25 And there's many ways you can get the lithium out of

1 the geothermal brine, and I'm just presenting this one as one
2 that comes with lots of details and also public statements from
3 EnergySource. They're ready to go. So, it looks like a good
4 one to use an exact example.

5 And I'm not going to get into all the details, but
6 you'll look at that figure, there's lots of steps. There's lots
7 of little numbers. That's all a lot of detailed information
8 about the steps of the process that you could find in the patent
9 document.

10 But what it really comes down to is you have a fluid at
11 the tail end of power production. Then you move on to the
12 direct lithium extraction process. As I mentioned in the
13 previous slide, you already have some amount of removal of
14 impurities and preparation of the fluid at the tail end of the
15 power process that makes it better to move on to the lithium
16 extraction.

17 The first thing they've got to do is they have to
18 remove more silica, more iron, more zinc, more manganese before
19 they then send that fluid into their sort of direct lithium
20 extraction process that will show details on the next slide.

21 But they can produce the lithium fluoride stream with
22 greater 90% the lithium from the raw brine and with greater than
23 99.5% of the impurities removed.

24 Even at that point, there then has to be further
25 polishing of that fluid to remove calcium magnesium. There's a

1 reverse osmosis process that further concentrates lithium, then
2 there's evaporation to remove some water. Again, more with the
3 concentration. Then they've now got a highly concentrated, very
4 pure lithium stream.

5 They do a first round of lithium carbonate
6 precipitation, but then they redissolve it to remove yet more
7 impurities before they recrystallize and finish with a high
8 purity lithium carbonate product.

9 Anybody who's a chemical engineer and wants to get the
10 details to those patent documents, have lots of that. And we're
11 a great resource to just be able to sort of say here's the
12 process that people are talking about and have confidence in.
13 And here are a bit of details we can pull out.

14 Next slide, please.

15 So, this is sort of, again, the patent documents have a
16 lot of great details for anyone who's interested in chemical
17 engineering and process engineering. And I just wanted to show
18 it here again, you know as an example, that has sort of the most
19 detail out there in the public sphere.

20 But one of the novel things that EnergySource did is
21 they are continuously cycling adsorption beds and the fluids
22 continually coming in and the process is sitting there running
23 all the time. The high concentrated lithium chloride fluid
24 comes in, it is then going through the absorbent, and there's a
25 stripping solution that removes it and sends it on through the

1 rest of the polishing steps that we saw on the previous slide.

2 But at the end of the day, the process is taking the
3 lithium chloride stream, concentrating it by 10 to 20 times.
4 And 99.9% of the impurities have been removed.

5 Next slide, please.

6 So, the Salton Sea is a potentially massive lithium
7 resource. The number recorded here is 15 million metric tons.
8 A variety of processes can be adapted to extract the lithium
9 from geothermal brine. We looked in detail or a little bit of
10 detail at a process that EnergySource described in their patent
11 application documents.

12 I don't want to say that that was what their final
13 choice of process was. That's just from the patent document. I
14 wouldn't be surprised if there were some things that added to
15 the efficiency of the process by the time they finally get done.

16 Interestingly, and this was handed to by Alex, any
17 lithium extraction operation is going to be unique and it may
18 even be that it has to be unique between projects. They're all
19 in the Salton Sea, and just intersecting and getting different
20 parts of the reservoir, or they are having different sort of
21 conditions at the tail end of their power production process.

22 But the end of the day, it's going to be fluid,
23 physical and chemical properties that dictate what's going to be
24 the best direct lithium extraction technology to apply.

25 And if that is not your own technology, there's going

1 to be a question of availability and cost of that technology,
2 which may tend to make you favor one or the other. Rather than
3 it being a pure pick, the absolute best technology, it may be
4 that the business case is slightly second best, is the best
5 choice.

6 The public information we were able to find related to
7 a range of direct lithium extraction from brines projects, makes
8 it look like \$4,000 per metric ton of lithium carbonated
9 equivalent as achievable. Again, in all those examples, there
10 are likely some finance costs, some tax costs, and maybe a few
11 other things that need to be thought about in the full business
12 case.

13 The performance and cost data that come from
14 demonstrations are going to be crucial to really seeing how
15 quickly we can get to commercial operations. And fortunately,
16 we've got CEC backing some of that right now at Salton Sea. I
17 think there's one more slide, but I'm done. Thanks a lot.

18 And again, there's one slide in there and at the very
19 tail end slide, they just listed the web address for
20 technoeconomic analysis report that is both in the chat. And
21 then also, in the items that Elisabeth mentioned.

22 CHAIR PAZ: Thank you for your presentation.

23 So, now, we'll be moving on to our panel conversation
24 and it will be moderated by Michael Whittaker. So, Michael, if
25 you're ready.

1 MR. WHITTAKER: I am. Yeah, thank you very much for
2 the opportunity. I'm excited to be hosting this panel
3 discussion. I don't want to make this all about me. This is
4 about the panelists from these companies who are going to tell
5 us all about their technologies and their opportunities. I just
6 want to take a brief moment to introduce myself and tell you a
7 little about who I am and why I'm here.

8 And so, thank you Chair Paz, for the introduction and I
9 appreciate the technical introduction by Rizaldo, Alex and Ian,
10 who have laid a great sort of groundwork for understanding why
11 it is that we're hoping to extract lithium from geothermal
12 resources, how we can go about doing that, and the prospects for
13 the resource.

14 I'm Mike Whittaker. I'm from the Lithium Resource
15 Research and Innovation Center, which is a center that obviously
16 focuses on lithium resources at Lawrence Berkeley National
17 Laboratory.

18 Next slide, please.

19 So, we're really powering the resource-to-recharge
20 revolution. Our motivation is really the urgency and needing
21 this massive amount of lithium that we'll need in the near
22 future as Alex talked about to meet the demand for electric
23 vehicle batteries and beyond. And we also see this great
24 opportunity. So, I think that's why a lot of us are here
25 because there's a lot of opportunity.

1 And so, LiRRIC is really interested in sort of
2 discovering technology breakthroughs, providing environmental
3 leadership, and how those solutions are deployed in getting new
4 technology solutions from the laboratory out into the world
5 quickly.

6 Next slide, please. This is animated. You can go
7 ahead and animate through this, please, Elisabeth. Yeah,
8 perfect.

9 So, just briefly about Lawrence Berkeley National Lab,
10 we've got Diverse Fundamental Research, including Earth and
11 Environmental Sciences research that look at things like why
12 does lithium become concentrated in certain parts of the earth's
13 crust, and what are the various environmental and climactic
14 forces that drive lithium distributions.

15 We also have the National Alliance for Water
16 Innovation, which is a clean water hub. And so, we have this
17 sort of overlap between folks who are interested in clean water,
18 wastewater, treatment, and remediation, reverse osmosis for
19 drinking water and things like that. And obviously, a lot of
20 those issues are very germane to the Salton Sea region.

21 And of course, we also have Battery and Research
22 Technology. We've got Hands-on Training in user facilities
23 where we do the fundamental science that we pursue. And then we
24 also have opportunities for Technology Transfer work to take
25 that research and convert it into technologies that you'll see.

1 And I'll go into a little bit of detail about some of those
2 opportunities that particularly relate to technologies in the
3 Salton Sea region.

4 And also, I'd just like to call out some industrial
5 partnerships that we have. We do have ongoing projects with
6 Berkshire Hathaway Energy and Controlled Thermal Resources, two
7 of our panelists here in our panel discussion today. And some
8 of that funding was provided by the California Energy
9 Commission.

10 Next slide, please.

11 Ian alluded to this during his presentation, but we
12 have published two different reports that are directly relevant
13 to the topics at hand today. These are by Will Stringfellow and
14 Pat Dobson. The first of which is Technology for Lithium
15 Extraction in the Context of Hybrid Geothermal Power.

16 This document and other documents are all available at
17 our website, which is down there at the bottom. It's
18 www.lirric.lbl.gov/publications. All of this can be found
19 there. And of course, this PowerPoint presentation itself will
20 be posted later on, so that you can find this after the panel
21 discussion.

22 But we also -- and by we, I mean, Pat and Will have
23 published a retrospective and all of the studies concerning
24 extraction of lithium and elements for geothermal brines that
25 were funded by the Department of Energy.

1 So, again, I'll just mention, we have received funding
2 from the CEC and the Department of Energy to do analysis and
3 development of some of these projects and also funding from
4 Lawrence Berkeley National Lab for our center and for
5 collaborations with UC Davis.

6 Next slide, please.

7 So, this collaboration with UC Davis in particular, I
8 just want to talk very briefly about so the Lithium Resource
9 Research and Innovation Center has a unique opportunity here, we
10 think, based on a partnership with Alissa Kendall's group at UC
11 Davis.

12 And so, her group actually has experience with lithium
13 battery recycling analysis, a technoeconomic analysis of
14 recycling of the batteries that would ultimately be made from
15 lithium produced in the Salton Sea and elsewhere.

16 And they have experienced supporting AB 2832. The
17 implementation of that bill is essentially moving towards and
18 promoting a hundred percent battery reuse or recycling. So,
19 it's relevant to the topics at hand today. It's also just sort
20 of pragmatically a similar process to the process by which we'll
21 be writing the report pursuant to AB 1657 to the Lithium Valley
22 Commission.

23 And so, Alissa Kendall's group has experience doing
24 this type of thing. And so, we're partnering with them to do
25 some research of our own that's specific to actually the Lithium

1 Valley Commission and Salton Sea.

2 What we'd like to do is just understand from a local
3 perspective some of the issues that have been raised by the
4 discussions that occur in these meetings themselves and use that
5 information to inform a lifecycle assessment and analysis of the
6 technologies that are being implemented here in the Salton Sea.

7 And so, I think this will help strike a balance between
8 sort of the global perspectives and the broader perspectives
9 about lithium markets and lithium separation, things that Alex
10 Grant talked about. And it will also provide I think a local
11 perspective that we use to help inform how things move forward.

12 So, we've gone through and looked at the transcripts
13 for all these things and identified emerging themes. The
14 biggest one of course is employment. We've heard a lot about in
15 these meetings.

16 But I would encourage everybody, if you can hear my
17 voice right now, please go to www.lirric.lbl.gov/lvc, sign up to
18 take our survey. We want to hear from you. We want to hear
19 from all of the stakeholders here in the Lithium Valley and use
20 that information to really inform sort of a quantitative
21 framework for how we can assess what we're doing here.

22 Next slide, please.

23 So, now what you've all been waiting for, the panel
24 discussion. We're talking about safe environmental methods and
25 standards for lithium extraction from geothermal brines and how

1 this compares to other methods for deriving lithium.

2 And so, our panelists today will be giving
3 presentations, 10 minutes each, from Berkshire Hathaway Energy,
4 EnergySource, and then Controlled Thermal Resources. And the
5 questions that will be covered during these presentations are
6 what are your technology? What are your waste streams,
7 specifically waste streams related to the extraction of lithium
8 from the brine? And what is the status of your development?

9 Following those presentations, I'll be moderating a 20-
10 minute discussion with some questions posed to our panelists,
11 and then we'll have 20 minutes for the commissioners to ask
12 questions themselves of the panelists.

13 So, just a quick reminder, this topic number five is
14 subtopic number five on lithium extraction itself. It's just
15 one of eight subtopics. And so, there are obviously a lot of
16 interesting themes that we can touch on here, but this is the
17 first of many conversations.

18 So, we're going to stay confined specifically to
19 lithium extraction, and there will be time in future meetings
20 where we can go into environmental impacts and economic impacts
21 and all of these other things.

22 So, with that, that concludes my presentation. And I
23 think our first speaker will be Eric Smith from Berkshire
24 Hathaway Energy.

25 I think you're muted, Eric

1 MR. SMITH: Can you hear me now?

2 MR. WHITTAKER: Okay, yes, I can hear you.

3 MR. SMITH: Thank you. Good afternoon everyone. I'm
4 Eric Smith, Vice President of Lithium Development at BHE
5 Renewables.

6 First off, I'd like to thank the commission for
7 inviting me to speak about our lithium project. One thing I want
8 to point out is I apologize in advance for my nasal voice, as
9 I'm just coming off a bad cold. So, if there's anything that I
10 need to repeat, please don't hesitate to let me know. So, let's
11 go ahead and get right into it by talking about our technology.

12 So, currently, we have two key technical challenges for
13 lithium recovery and production in the Salton Sea known
14 geothermal resource area, which I'm just going to call them
15 brine from here on now.

16 The first one is that there are significant quantities
17 and minerals other than lithium dissolved in the brine. In
18 fact, over a quarter of the brine is composed of dissolved
19 minerals. Besides lithium, of course, there's minerals such as
20 iron, zinc, manganese, and many, many others.

21 And second, is keeping the temperature of the brine,
22 which can get up to 700 degrees Fahrenheit in some locations,
23 high enough during the process to keep, or at the very least,
24 minimize the dissolved minerals that I mentioned before from
25 precipitating into solids.

1 This is especially important because if those minerals
2 precipitate into solids, that creates not just waste product,
3 but also potential impurities in the lithium product. So, how
4 are we addressing those challenges?

5 We're addressing those challenges and de-risking our
6 project by first working on two small scale demonstration
7 projects. Our first demonstration project is going to recover
8 the lithium from the brine. And the second demonstration
9 project will take the recovered lithium and produce lithium
10 hydroxide monohydrate, which I'm just going to call lithium
11 hydroxide from here on out.

12 So, our first demonstration project is partially funded
13 by a Matching Grant from the California Energy Commission to
14 demonstrate that we can recover lithium from the brine safely,
15 cost-effectively and of course, in an environmentally
16 responsible way, and Rizaldo touched on that a little bit
17 earlier.

18 The second project has a Matching Grant from the US
19 Department of Energy. So, in these two demonstration projects
20 will go together. So, we'll start the first one, which is
21 recovering the lithium from the brine.

22 Our lithium recovery technology keeps the dissolved
23 minerals suspended in the brine after the lithium is recovered
24 so the brine can be safely reinjected back into the reservoir to
25 minimize solid waste.

1 This technology utilizes an ion exchange process that
2 accounts for the unique composition of the Salton Sea geothermal
3 brine. Our technology has been tested and proven effective and
4 efficient in a variety of potential operating environments that
5 we would see in the brine. We will continue to test the
6 supports and validate the technology and potentially, find ways
7 to make the process more efficient.

8 So, we'll then talk about our second project. Our
9 lithium hydroxide project utilizes proprietary electrochemical
10 processes to convert the final product from our first project
11 into lithium hydroxide. One thing I want to point out is -- and
12 Alex had touched on this a little bit earlier, is that the
13 requirements for impurity of lithium hydroxide are pretty high.

14 So, to test our process, we'll be testing for
15 impurities of our lithium hydroxide parts per billion; not
16 million, billion with a B. Imagine that. For some impurities,
17 even just one part per million may not be acceptable with some
18 battery manufacturers. So, this is what we need to achieve.

19 Before I move on, I just wanted to explain a little bit
20 why BHE Renewables is pursuing lithium hydroxide when lithium
21 carbonate has historically been the lithium compound in lithium-
22 ion batteries. Lithium carbonate synthesizes with metals used
23 by batteries at a higher temperature.

24 Nickel, a metal that manufacturers are using more of
25 because of its potential positive impact on battery performance

1 can potentially cause damage to the battery once synthesized at
2 higher temperatures. Lithium hydroxide synthesizes with nickel
3 conversely at lower temperatures and carbonate.

4 So, what does that mean? It means that the batteries
5 should last longer and therefore, the more sustainable resource.

6 So, we'll talk about our waste streams. At the
7 existing geothermal plants, our process utilizes existing
8 imminent wells which have also been called production wells and
9 outlet, which is also called injection wells. No exclusive
10 lithium well streams back to the reservoir are required for our
11 project. Minimizing the number of wells required for lithium
12 production, reducing our potential project footprint.

13 Many wells will have to be drove exclusively for our
14 lithium project at our existing geothermal plants. One strength
15 that we have as we move forward with this process is that
16 fortunately, we have already drilled our 25 production wells and
17 26 injection wells that we've been operating for about 35 years.
18 That means that we have the basic infrastructure in place that
19 has been in place for decades. Therefore, we believe that we
20 have a great understanding of the brine and the reservoir.

21 This will also be helpful in advancing our timelines
22 for our commercial **development**. As I mentioned a few minutes
23 ago, to tie back to the earlier discussion about the technology,
24 getting the dissolved solids suspended in the brine is essential
25 to minimizing solid waste products. And one thing I also want

1 to point out is for our process, the our pH level of the outlet
2 stream will be similar to the inlet stream, of course.

3 Next slide, please.

4 So, let me close my presentation by updating you all
5 about the status of our demonstration projects. To reiterate my
6 earlier point, we have the infrastructure for drilling and
7 geothermal energy in place with our existing geothermal
8 operations. The beginning stage of our first demonstration
9 project is underway and is still on track for an end-service
10 timeframe of spring 2022.

11 Engineering for the second demonstration project is in
12 full swing and still on track as well.

13 One of the things that we have discussed before in the
14 commission meetings previously is that we're taking the approach
15 that we're crawling before we are walking. We believe that the
16 technology that we're working on has not been approved on a
17 commercial scale and these demonstration facilities serve to de-
18 risk that.

19 We will be using our demonstration facilities to learn
20 any potential lessons before our commercial operations. So, I
21 will stop here. Michael, back to you. Thank you.

22 MR. WHITTAKER: Alright, thank you very much, Eric.
23 Our next presentation is going to be from Derek Benson from
24 EnergySource Minerals.

25 MR. BENSON: Great. thank you. And thanks to the

1 commission. Hopefully, you guys can hear me okay.

2 So, again, Derek Benson, COO of EnergySource Minerals.

3 Kinda of mindful of time, I put together a few slides
4 to kind of give you a quick overview of where we are with the
5 charter from the group, talk a little bit about the technology,
6 but also some of the environmental aspects here.

7 So, I guess just jump right in, foreground pictures the
8 Featherstone Plant and that's the host facility for us for our
9 mineral recovery. So, that's been operating going on nine years
10 now.

11 So, next slide.

12 So, a quick overview. The mineral recovery project, we
13 refer to it as Project ATLiS, nominally a 20,000 ton per annum
14 lithium hydroxide facility. The potential there for manganese
15 and zinc co-products. We have done a lot of engineering, a lot
16 of pilot work over the years. And I guess always give a shout
17 out to the CEC for the engineering grant that we got a few years
18 ago.

19 And right now, what we anticipate is a commercial
20 operation beginning in 2024. And that would mean we go into
21 construction in early 2022. Again, leveraging a lot of the
22 infrastructure in place by the power facility, including the
23 oilfield, the power lines, as well as you pointed out in one of
24 the earlier discussions, the thermal plant does a great job of
25 reducing the temperature and pressure of that brine and make it

1 manageable for mineral recovery.

2 And of course, when you look at our project in
3 California compared to where lithium is sourced today, I think
4 you're looking at a project with low to no sovereign risk,
5 geopolitical risks. So, when you talk about the resiliency of
6 supply chains, I think between the trade disputes and the COVID
7 and Suez Canal blockage, I think we all appreciate how fragile
8 some of this is. So, resiliency is important. And I think for
9 the US market, particularly going forward and markets in the
10 West, broadly having some new suppliers is preferential.

11 Next slide.

12 So, EnergySource Minerals is a project development
13 company at its heart, but we ended up out of necessity kind of
14 coupling into the technology space a bit. But I think one of
15 the things as a project developer, the focus is to de-risk the
16 project, make it financeable.

17 And there are a lot of lessons learned that got
18 incorporated into our approach. These lessons are from the
19 lithium industry at large, they are from the Salton Sea location
20 specifically from the 1980s to today. There are there plenty of
21 lessons out there.

22 Obviously, de-risking is aided in well field that's
23 been operating for nine years. So, leveraging those operations
24 again, very key.

25 Part of what we wanted to do though, is leverage a lot

1 of what we call state of the industry techniques. But with the
2 geothermal brine, there were a couple elements that needed to be
3 bespoke and that needed to be more efficient than what we saw as
4 a product offering. So, we brought those to the market as part
5 of the Project ATLiS program.

6 They leverage existing technologies, but modified them
7 to fit the need. But we have vendors that are helping us in a
8 lot of elements of this project. And that'll certainly aid when
9 we get into the contractual elements. It's certainly good to
10 have their support and their experience in the effort.

11 And lastly, I'll just point out, we've had early
12 engagement with the end-users for years now. The product
13 whether it's carbonate or hydroxide, the specs are getting
14 tighter. And as we designed our process, we wanted to make sure
15 that we kept our eye on what that target is. Cause it's a
16 slightly moving target and want to make sure that the product
17 spec was ultimately going to meet the needs of the customer.

18 Next slide.

19 So, this is just meant to give you a sense that this
20 did not happen overnight. We have been working on this project
21 since 2016. We've been doing a lot of engineering, a lot of
22 pilot, a lot of process validation, and ultimately, the vendor
23 selection that we did in '18 completed our pilots in late 1920.
24 And a lot of engineering in the middle of that program led to a
25 feasibility study. We did a bottoms-up costing with the

1 contractor to get those estimates in place.

2 And I'll talk a bit in a second, but we've made
3 product, both carbonate and hydroxide that's met spec. And that
4 gives us the comfort in both the engineering, the process
5 numbers, the mass energy balance, the construction cost
6 estimates. So, we have a great deal of confidence in the
7 numbers we present and that we can execute on those.

8 Again, timing-wise, look to be in construction early
9 next year and operationally in early 2024. So, I think Project
10 ATLiS really does represent one of the most advanced lithium
11 projects in development, and we're getting close to that
12 transition over into construction.

13 Next slide.

14 So, if you folks have previously kind of talked about
15 the process overall, it's a lot of unit operations to get the
16 finished product. But the key to this process is a technology
17 that we refer to internally, ILiAD. It's an integrated lithium
18 adsorption distortion approach. We consider this to be sort of
19 at a technology readiness level of eight.

20 And so, we're deploying it currently in a few areas.
21 It leans on technology and hardware that's deployed elsewhere,
22 but again, we modified it to fit our need. It's a different
23 process for lithium, but we do two things in one step with this
24 unit operation.

25 We concentrate the lithium in our case about 12-fold

1 while simultaneously removing the sodium calcium potassium
2 species that we do not want in the final product stream. So, we
3 get about a 99.9% rejection of those monovalent salts and again,
4 a 10 to 12x concentration of lithium in one step.

5 So, what this affords us is a great lithium recovery
6 rate in terms of percent of lithium recovered. We have a low
7 capital and a low operating cost for the separation. And of
8 course, with this hardware and with the inherent benefits of
9 some of the geothermal heat, very small environmental footprint.

10 Next slide.

11 So, one of the things we've been doing, I mentioned
12 we've been doing a number of pilots over the years and running
13 extensively on geothermal fluid, but we've been running on a
14 number of alternative brines as well over the years. And we've
15 gained some significant market acceptance with the approach.

16 And so, we are currently deploying a number of pilots,
17 both in North America and South America. Photos at the right
18 would show one of our smaller units and then the slightly larger
19 one and it's factory acceptance test running at about 100 GPM.

20 So, these are built as you can tell, and being deployed
21 currently. So, as we advance Project ATLiS here in California,
22 we're also advancing the core ILiAD technology globally. And
23 so, for us, it's been quite exciting.

24 To give you a sense, the Project ATLiS, I caught them
25 in the slides here, you see a five by one configuration. What

1 we do to get to that full commercial scale is put in a number of
2 these units in parallel. They're bigger, they're 1,500 gallons
3 per minute. But it's the same process, same column heights,
4 same configuration. So again, speaking to de-risking the
5 platform, all of this feeds to that exercise.

6 Next side.

7 So, the last one here, in terms of speaking to what our
8 technology is, this kind of shows you where it kind of fits in
9 the flow sheet. It will work with any downstream process flow
10 because what we're essentially doing is making lithium chloride
11 stream so that can be converted to carbonate or hydroxide, will
12 be a number of methodologies.

13 One of the things that I think we're particularly, you
14 know excited about, and I think represents a real competitive
15 advantage here is that we don't use reagents in that ILiAD unit
16 operation. So, what that means is lower costs, lower
17 environmental footprint, and those translate to certainly
18 advantages in the bottom line for production.

19 The other thing I think important to note; this system
20 has a very low water use relative to others. And talking about
21 maybe one fifth to one sixth of maybe a fixed bed, comparable
22 fix bed system, same with the absorbing inventory. So, we're
23 talking about something that's 20 to 30% of some other
24 approaches.

25 The other thing we've been doing over the years is

1 running long-term tests to validate the absorbent that we've
2 made. It's a proprietary recipe, but leverages the history of
3 absorbents and production.

4 And Dr. Charles Marston in our group has been in the
5 industry for over 30 years and an expert in this field. So, we
6 leverage a lot of that experience and what we've seen is the
7 ability to have these absorbent materials last for years, not
8 weeks, and not months. So, again, that testing has proven out.

9 And lastly, to point out, this is something that's very
10 scalable. So, whether it's a hundred gallon per minute unit or
11 1,500 or 8,000 gallons a minute, we can deploy it at various
12 sizes utilizing really the very same process and a lot of the
13 same column geometry and configurations.

14 So, we're very happy with performance, and I'm very
15 excited to be putting it out in field deployments in addition to
16 the work that we've done here at Southern California.

17 Next slide.

18 So, I really won't spend much time here, but I think to
19 speak to ... we've completed piloting all the way through
20 production of lithium hydroxide monohydrate as well as lithium
21 carbonate. The table at the right just shows you kind of the
22 spec we were targeting, which is again, fairly low in the
23 impurities that you can see there. And we were able to achieve
24 that in every metric.

25 Next slide.

1 So, I think the other ask was kind of what are some of
2 the environmental attributes of the project? So, a look at ATLiS
3 again, we commissioned an independent third party to do a life
4 cycle assessment of our process against current state of the
5 industry techniques looking specifically at carbon and water and
6 land footprints.

7 Next slide.

8 So, what we did here was we took brine production and
9 hard rock production and benchmarked ourselves. And here, this
10 is CO2 per ton of product, and you can see Project ATLiS in
11 green scores, very well compared to your current industry
12 production techniques. We've taken off the names, but I think
13 you can get a sense of the relative advantage.

14 Again, some of this is related to the inherent
15 advantage of our process, and some of it is the benefit of
16 geothermal brines being hot. So, you can leverage some of that
17 thermal for efficiency.

18 Next slide.

19 I think this is another one that's growing in concern,
20 and particularly as you look at South American resources from a
21 water use standpoint. Again, Project ATLiS scores extremely
22 favorable with respect to its water use per ton of product
23 produced. So, we spent a lot of engineering time, both in terms
24 of mapping out our process and validating all of those results.

25 But I think one of the key elements for us was the

1 water balance proved to have a lot of optimization that we could
2 do. And so, that was what was the result, was a very water-
3 efficient project at the end of the day.

4 Next slide.

5 Then lastly, this one is just sort of highlighting the
6 land use. So, you can see, obviously, an evaporation ponds
7 system is a huge land requirement, open pits as well. Project
8 ATLiS doesn't really show up on the chart here.

9 But not only we're talking about a 30-acre facility, so
10 very small land footprint. And in our case, it's already zoned
11 industrial as it was done so during the permitting and
12 construction of the Featherstone Geothermal Plant. So, the
13 surrounding land use, farming, dart clubs, wildlife refuge, all
14 of that continues uninterrupted.

15 Next slide.

16 And again, to put our developer hat back on, and make
17 sure we can get a project to the financing and construction go
18 line, is to make sure that we have a competitive offering in
19 terms of environmental performance. Make sure you maintain cost
20 competitiveness.

21 And then lastly, I think a US-based resource has some
22 inherent advantages as we go forward. And particularly, here
23 where we have a very strong and robust geothermal field, we've
24 got a great resource and a great location.

25 So, all of those come together for us and we see its

1 ability to sort of execute. As a private company, we don't
2 typically say too much, but we've been as you maybe can tell,
3 we've been busy over the last few years and we continue to
4 advance the project. But it has taken some time and a lot of
5 energy. And for those that have helped and for the CEC grant
6 and all that, we thank you.

7 And the next slide, if you have any questions or you
8 want to reach out, I've provided my contact info. But look
9 forward to the discussion, and again, appreciate the time.

10 MR. WHITTAKER: Thank you, Derek. Our final
11 presentation will be from Jim Turner from Controlled Thermal
12 Resources.

13 MR. TURNER: Thank you, Michael. And thank you for
14 the opportunity to talk a little bit about our project at Salton
15 Sea.

16 What I thought I'd do, and next slide, if you would,
17 just introduce myself a little bit, because I'm probably the old
18 guy on the block here, having been around the Salton Sea since
19 the early 1990s and spending 20 years at Dow Chemical, before I
20 came out here on loan.

21 Also ended up running what is now the Berkshire
22 Hathaway operation out there, ran small, unique boutique
23 drilling company back east, was also a senior member of
24 EnergySource and we built their plant. And I'm now the Chief
25 Operating Officer at Controlled Thermal Resources.

1 Next slide.

2 So, first of all, just to kind of ditto, everything
3 that Eric Smith and Derek Benson mentioned, they talked well
4 about the Salton Sea and its opportunity for lithium. Frankly,
5 we're all doing something very, very similar. We're trying to
6 get lithium out of that brine, put it into the product that's
7 desired by the various off-takers around the world.

8 But the first thing I'd like to mention is the Salton
9 Sea resource is probably one of the most, if not the most robust
10 geothermal resource that can produce multi products in the
11 entire world. You heard from, I believe, it was Ian, he
12 mentioned the 600,000 tons of lithium carbonate equivalent.
13 This resource also has a current projection of right at about
14 3,000 megawatts when fully developed.

15 And it might even be more than that as we complete the
16 development of our resource and investigate the Northern half of
17 this large geothermal resource. Just our area alone that we
18 have to develop, we estimate that it will produce about half of
19 the lithium carbonate equivalent that Ian mentioned, and about
20 1,100 megawatts worth of electricity at the same time.

21 And as both Eric and Derek mentioned, this resource has
22 a lot of additional potential on minerals, whether it's
23 potassium, zinc, manganese, iron, rubidium -- there is almost
24 the entire table of elements that exist in this resource. So,
25 it's a matter of what's being sought after and is it

1 economically viable to pull these materials out.

2 Next slide, please.

3 So, what are we doing? So, first of all, we have the
4 opportunity to design a complete Greenfield Plant, including
5 power and lithium. We don't have to worry about an existing
6 plant that we have to bolt on to, and somehow, meet that plant's
7 needs. We get to take our knowledge and go from the ground up
8 on both sides.

9 So, what that does for us is it helps in optimizing the
10 use of fluids like water back and forth, that helps on the use
11 of heat. We can use some of our heat generated by steam in the
12 lithium process. And we definitely will produce renewable
13 electricity to run that lithium process.

14 As I think it was Ian or Alex mentioned, this type of
15 technology does not use evaporation ponds. There's no tailings
16 from an open pit mine. And in our case, we have very little
17 almost diminimous waste. Our goal is that anything that we pull
18 out of the brine should be a product with value. If it doesn't,
19 we don't want to take it out.

20 There's no offsite liquid waste. There's very little
21 solid waste that we would produce. And to say something that
22 Derek mentioned, the footprint of our plant, the footprint of
23 BHE's plants and whatnot, these are tiny in comparison to
24 anybody else in the world. So, we all enjoy that small
25 footprint in the small emissions that you see elsewhere.

1 Again, we don't feel like we're competing with each
2 other. At least, I don't. I mean, if the entire Salton Sea
3 development was fortunate enough to push out all the lithium, it
4 could make the 600,000 tons per year, we're not gonna be
5 competing. Every pound of material that, that any of us makes
6 we'll go to market and be sold.

7 Derek mentioned that we're politically stable here in
8 the United States. That's highly sought after. We're green in
9 our case, completely from head to toe, that is also highly
10 sought after. So, what are we doing? So, we actually have two
11 proven technology paths to produce lithium and we settled on
12 iron exchange.

13 You heard from, I think it was Ian, Dow Chemical
14 started doing ion exchange work in the early 1980s. Actually,
15 Dow Chemical started looking at lithium from brine as early as
16 1963 from what I remember. And so, there's been a lot of work
17 around the world on how to get lithium out of brine.

18 A lot of different techniques. Some of them worked
19 better than others, but the key is that you find one that gets
20 the material out in the period that you need, that you can
21 convert it to the final product, and it's economically
22 acceptable. And that's what we've done.

23 We're a resource company. We're not a technology
24 company. We'll leave that to others. And so, what we've done
25 is we've assembled a team of folks that came from the Salton Sea

1 area that has experienced the development of all the plants that
2 are at the Salton Sea, the ups and downs, and took that group of
3 people, and then we said, "Okay, let's go out and find the real
4 experts out there for the various technical components that we
5 need to assemble for success." And that's what we've done.

6 Our timeline is similar in that we've done a lot of
7 engineering, tremendous amount of engineering, a lot of
8 environmental work, definitely a lot of sales work. I think you
9 heard Rod earlier mentioned the GM announcement, and we're in
10 the final phases of our engineering and permitting work. And we
11 have our proven pathway to get all the way to whether it's
12 lithium carbonate or lithium hydroxide.

13 I guess we're going to the next slide, please.

14 So, I'd like to mention here that we have a kind of a
15 unique opportunity as CTR. We're in the Northern half of the
16 geothermal field, and it's being rapidly made available by the
17 receding shoreline of the Salton Sea. Now, the receding
18 shoreline has some significant negative issues and in dust and
19 pollutants, but our vision is we'll have a master-planned
20 solution out there, probably will look like a master plan,
21 housing development, if you will.

22 But the development that we need for our plants as we
23 build them will not only take a very small footprint, but it
24 will enable others to come out and hopefully build their
25 developments. And maybe even use renewable electricity that we

1 have available, and hopefully, they'll use the lithium products
2 that we make.

3 For example, cathode makers are rapidly looking to
4 build their cathode manufacturing here in the United States, and
5 the ultimate battery assembly plants are looking to do the same
6 thing.

7 The automotive makers are starting to insist that these
8 downstream suppliers locate here where it's politically stable
9 and there's no better place than Imperial Valley. So, this
10 master plan is a big deal for Imperial County because wherever
11 anybody decides to build their plant, they're going to eliminate
12 that dust and air pollution issue.

13 So, what we've done is we've let the world know that
14 we're open for business and we'd like them to come, take a look
15 at where they can get clean energy, they can get green lithium,
16 and have a place with people that want jobs.

17 Next slide, please.

18 So, just to wrap this up and to summarize, when this is
19 fully realized, our development is fully realized, we're going
20 to have a very significant impact on the job position of
21 Imperial County. Our development alone will create over 2,000
22 jobs both direct and indirect. The economic impact here in
23 Imperial County will be very significant, the Imperial Valley
24 Economic Development Corporation estimated that our projects
25 along will have greater than a \$300 million direct economic

1 impact right here in Imperial County.

2 We've done a lot of work with the community. We
3 anticipate that the Imperial County folks will help us on
4 selecting people for potential jobs. We'll train them and all
5 they have to do is show up. Some of the other benefits is that
6 our clean power will go into the grid.

7 Everybody knows that California is going to be first to
8 be a hundred percent renewable, clean energy, and we hope to be
9 a big part of that. And from a US standpoint lithium production
10 and these other minerals will be significant, positive impact on
11 their critical materials supply here in the United States.

12 And that's about what I have. I don't want to repeat
13 what has already been said, but I'd be happy to answer any
14 questions that anybody has. Thank you, Michael.

15 MR. WHITTAKER: Alright. Thank you, Jim. So, that
16 concludes our presentations from our three panelists. And so,
17 now we're going to transition into 20 minutes of discussion.

18 And so, the format we have for this is I'll pose a
19 question and I'll give all an opportunity to respond to the
20 question if you'd like. The formal format will go in the same
21 order as you presented. So, we'll go Eric, and then Derek, and
22 then Jim.

23 If you want to interject, please feel free to do so,
24 this is a discussion. I would only ask just make it easy on our
25 interpreters.

1 So, with that, I will kick us off with the first
2 question, which is how much lithium do you think there is? And
3 how many years do you think you can operate on that amount of
4 lithium? And then also please talk about how you made that
5 assessment.

6 So, to start out, I'll give Eric the opportunity to
7 respond.

8 MR. SMITH: Okay. So, one thing that was mentioned
9 earlier from NREL was the estimate of 15 billion metric tons
10 lithium carbon equivalent. We have not seen anything that
11 necessarily disapproves that, and at our full commercial
12 production potential, that is a resource for us that will last
13 well over 70 years. So, for us, we believe that it is very much
14 a sustainable resource.

15 And also, I know that there was a little bit of
16 information. I can't speak to it that much, maybe some of the
17 other panelists can speak to a little bit better than I can, is
18 about recharging in the existing reservoir. Can the existing
19 structure around the reservoir potentially recharge the lithium?
20 I can't speak to that. I've heard of it, but maybe someone else
21 can speak to it a little bit more than I can.

22 MR. WHITTAKER: Well, so let's go ahead and give Derek
23 an opportunity to respond to the question, how much lithium is
24 there? How many years can you operate? How did you make that
25 assessment and then give you the option to follow up on Eric's

1 question?

2 MR. BENSON: Yeah, so we, we specifically look at the
3 resource area at the Featherstone Geothermal Plant currently
4 draws from. We've done extensive thermal modeling that goes
5 with that. And that modeling exercise includes total dissolved
6 solids. All of the salts that are present in that brine.

7 So, that's got a lot of data, a lot of operational data
8 that feeds the model that we ran and that all informed our
9 feasibility study. So, we took some fairly conservative
10 assumptions around the porosity of the reservoir, around the
11 battery limits of the production area. But I think we all
12 recognize, it's all interconnected, there's a lot of hydraulic
13 support across the resource.

14 So, we look at our modeling that's done on a 20-year
15 basis where we do have a very modest amount of depletion over
16 that time based on the minerals that we see today and some of
17 the operations that occur at the power plant. You don't really
18 see much of a depletion, but we modeled it as a conservative
19 basis. And then we'll see how that goes forward.

20 But ultimately, there's a there is a lot of lithium in
21 the in the Salton Sea resource. And we'll see how the model
22 compares once we're operational, but indications are 20 years or
23 more, it's easily achievable here.

24 MR. WHITTAKER: Great. And Jim, I'll give you a
25 chance to respond to that. How much lithium, how many years can

1 you operate and how did you make that assessment?

2 MR. TURNER: So, what we did is we chose to follow the
3 Canadian instrument, national instrument 43101 process, and had
4 what's called qualified personnel review on a technical scale,
5 the geology, the solution characteristics down there to
6 determine the amount of lithium and therefore, the number of
7 years given a particular withdrawal rate of that lithium.

8 So, we only use data for lithium that's in solution,
9 not lithium that may still be in the rock. And in doing so, we
10 ended up with our amount of lithium as just lithium, not a
11 particular compound, and then converted that. And that's how we
12 ended up with our approximation of 300,000 metric tons of
13 lithium.

14 We feel that we're easily in that 40, 60-year range
15 depending on how fast or how much we take out each year. We did
16 not include anything related to additional lithium dissolving
17 into solution. So, we feel we're extremely conservative in our
18 estimate. And then we only used what we could find as published
19 data, as opposed to anecdotal data that most of us know, because
20 we've run all these plants that are out there. So, there's a
21 lot of data that's not published.

22 And again, we feel we have an extremely conservative
23 estimate based on that.

24 MR. WHITTAKER: Okay, great. The next question is
25 related to the previous question, but I just want to give you a

1 chance to address it explicitly since it's come up in a number
2 of context.

3 Is there a danger that the resource could be depleted
4 and maybe perhaps in light of your previous comments, is there a
5 danger that the resource could be depleted before the sort of
6 time window that you've estimated for your resource lifetime?

7 MR. TURNER: At this time, based off of everything
8 that we have seen and have verified, of course, we don't believe
9 that that's the case.

10 MR. WHITTAKER: And Derek.

11 MR. BENSON: Yeah, I think that's the same response is
12 that when we do the modeling, nothing would suggest that you'd
13 be negatively surprised with a tenure asset. No, I think the
14 assumptions, most of the reservoir data that exists and keep in
15 mind, there's some projects that have been out here 30 years.
16 You know, ours has been operating nine.

17 The data clearly is a robust data set. So, 20 years is
18 probably the short end of the modeling. I think Jim talked
19 about, as well as there's some conservative assumptions you want
20 to take at this point and try to be surprised to the positive.
21 So, no, I think if anything, these are going to be long lived
22 assets, not something where you have sort of a flash in the pan
23 moment.

24 I think there's certainly a lot of fluid and that fluid
25 is all bearing lithium at this point. So, I think it's a stout

1 resource to go forward.

2 MR. WHITTAKER: Great. And Jim?

3 MR. TURNER: So, technically, yeah, it's a mine, so it
4 will be depleted at some point, but probably not in any of our
5 lifetimes or the foreseeable future. We look at the change in
6 silica concentration, because all these plants have extracted
7 silica ever since the first one started 38 years ago. And
8 there's no change in the amount of silica in the brine.

9 So, if that's any kind of an indication of depletion
10 rate, then it says that we're going to see lithium coming out of
11 this for probably many, many, many years, given the last 38
12 years of operation.

13 MR. WHITTAKER: Great. The next question is, again,
14 something that's been touched on both in our introduction talks
15 and also your talks as well. But I want to give you the chance
16 to take this one on directly.

17 How much research and development is needed now on
18 specifically the lithium extraction process from geothermal
19 brines, or is the technology sound, and is it just a matter of
20 demonstrating that the technology can scale up to a full-scale
21 capacity?

22 MR. SMITH: For us, since we're going with the
23 demonstration process, we believe the technology is good at a
24 small scale, but we want to come up with -- for our
25 demonstration plants, it's one tenth of a commercial scale. So,

1 even though we believe that the technology is definitely
2 promising, we want to make sure that it is good to go before we
3 move to the commercial stage.

4 MR. WHITTAKER: Great, Derek.

5 MR. BENSON: Yeah. So, I think you'd say we probably
6 have a little different take. Each of our unit operations is
7 essentially commercially deployed at the moment. The only thing
8 that's a little bit different is the ILiAD hardware, while it's
9 been used in other applications at full scale, the application
10 for lithium is new, but we're talking about internals on a
11 similar piece of hardware.

12 So, the technology risk isn't very high. But at the
13 same time, we're deploying commercial demonstration units as we
14 speak. So, for us, the technology risk has been answered.
15 We're not looking at any more R&D.

16 What we will have is a continuous improvement program
17 that's internal that we're executing. So, we're in deployment,
18 we're moving toward construction. So, we've asked and answered
19 the technology question to our satisfaction.

20 MR. WHITTAKER: Great. And Jim.

21 MR. TURNER: Yeah, similar response as Derek. We
22 think the technology risk is acceptable at this point, but
23 coming from the chemical industry, the industry as a whole won't
24 stop developing and trying to improve on technical pathways to
25 extract lithium from brine. And I think that's important to

1 remember that just because we may have a plant, EnergySource may
2 have a plant, and BHE may have a plant that works and it has
3 good economics today, you're always looking to improve upon
4 that.

5 And it may be a small twist on today's technology. I
6 think we're going to see by the next 10 or 15 years, a big
7 handful of technologies that we're going to think pretty
8 seriously about for the next generation of lithium plants that
9 we have out here.

10 MR. WHITTAKER: Great. So, you've just articulated
11 that there's no major sort of R&D challenge in general to
12 operations. But we've also heard that none of your operations
13 are at full scale yet. And so, if it's not the R&D, what is the
14 most significant barrier to getting to full scale operation? Is
15 it permitting, is it raising capital, or is it something else?

16 Eric, I'll let you start.

17 MR. SMITH: Okay. Since we are presumed a
18 demonstration scale, we want to prove to our satisfaction that
19 the technology can be implemented for commercial scale.

20 But an additional challenge and I think a lot of people
21 would agree is making sure that our process's cost compared to
22 other sources of lithium outside of the Imperial Valley. You
23 know, we have a great opportunity with one of the world's most
24 environmentally responsible methods of recovering and producing
25 lithium.

1 But there are other suppliers internationally that
2 don't prioritize ESG. And we also know that even though lithium
3 prices are very strong today, markets are not always rational.
4 So, we are all aware of the impending demand, but as that demand
5 increases, so eventually, will the supply. So, making sure that
6 ... we touched a little bit on the sustainability of the lithium
7 itself from the brine, but also, we want to make sure that our
8 process is sustainable to market fluctuations.

9 MR. WHITTAKER: Great, and Derek.

10 MR. BENSON: Yeah. So, I go back maybe to the slide
11 where we were talk about our development time. I think for us,
12 what has been the major challenge is to vet this out. And we
13 recognize this is for us, it's a geothermal-based lithium
14 project. We are talking about serial number one.

15 So, you do have to take that technology, that process,
16 do the engineering, and ultimately, make it a financeable
17 approach so that the selection of vendors, the selection of
18 everything in the process has been very deliberate to that. But
19 it has taken us a while to get to this point.

20 But you raised like whether ... permitting is a pretty
21 prescriptive program in California. So, that for us is not a
22 particular challenge. Because again, we leverage the zoning of
23 the Featherstone Plant and that process that's in place. So,
24 you obviously, need to go through the mechanics of it. And now,
25 you're in a market where I think the financing, it's not done

1 until it's done, so there are risks there.

2 But ultimately, I think you're in a strong market for
3 lithium demand. We're in a post-COVID moment, I hope, in terms
4 of some stability and commodity prices for construction. But
5 that all has to kind of work itself out. But from our
6 standpoint, the bigger challenges maybe are just behind us, and
7 now, we just need to do the last little push into the project
8 finance.

9 MS. WHITTAKER: Great. And Jim.

10 MR. TURNER: Thank you, Michael. You know similar to
11 BHE and EnergySource, we're all working very cautiously to de-
12 risk these projects during our development stage, because as you
13 mentioned, we don't have the first one in commercial operation
14 yet. So, everybody's being extra careful, and that is I think
15 the very smart route.

16 Put that aside, and because of my years in the chemical
17 industry, I can tell you that California is notoriously
18 difficult to permit. As prescriptive as it is, it is a big
19 process. And if there's one element that is most significant in
20 terms of a development going forward is time. So, if we can
21 have reasonable permitting criteria that we can get through in a
22 reasonable amount of time, that helps develop because time is
23 money.

24 From a capital standpoint, COVID certainly has had its
25 impact on capital availability. But I think at the end of the

1 day, the capital will flow with good research and development
2 and a good process that you can show to the people that are
3 going to supply that capital.

4 And as Derek mentioned, I agree with him; financing's
5 not over until you sign on the dotted line and the money's in
6 the bank. And then you're ready to go for construction.

7 One of the things that we've seen here in recent times,
8 and it's not just here, it's basically global, is a material
9 shortage of things like steel. Now that's getting better, but
10 that prop came up as a result of COVID and we all have to deal
11 with that so that we can get these plants built.

12 MS. WHITTAKER: Great. Thank you, Jim. Alright.

13 Next question is about co-products. And so, we heard
14 some discussion about potential to produce co-products; zinc,
15 manganese, potentially other minerals that are found in the
16 brine.

17 Aren't your financial models reliant on the production
18 of co-products? Are they sustained fully on the production of
19 lithium? And sort of correlated to that, we've heard about
20 producing things like silica. Are your financial models reliant
21 on having particular offtake agreements in place for things like
22 silica?

23 So, Eric, go ahead and take it away.

24 MR. SMITH: For us, the answer is no. Our focus is on
25 lithium and each mineral will have to have its own business

1 case, but our lithium economics are not dependent on any other
2 minerals.

3 MS. WHITTAKER: Great. Derek.

4 MR. BENSON: I think Eric nailed it. No, is the short
5 answer.

6 MR. WHITTAKER: Great, and Jim.

7 MR. TURNER: I think all three of us have a laser
8 focus on getting the lithium out. The co-products will be a
9 bonus obviously, and as Eric mentioned, they need to stand on
10 their own economic case. And frankly, the reason we all have
11 the laser-like focus is because Simbol failed not because of
12 technology, but because they did not have that laser-like focus
13 on getting past the goal line on lithium.

14 MR. WHITTAKER: Great. Thank you all very much. I
15 think we're approaching the end of our time here for the
16 moderator discussion. And I want to open it up now to the
17 commissioners to be able to give them time to ask their
18 questions of our panelists.

19 So, what we'll do now, if any of the commissioners have
20 questions, I'll just invite you to raise your hands and I can
21 call on you to unmute yourself and you can ask your question of
22 the panelists. So, I see Commissioner Olmedo has raised his
23 hand; Commissioner, please go ahead unmute yourself and ask your
24 question.

25 COMMISSIONER OLMEDO: Yeah, thank you for all the

1 presenters, great information. As we're tasked to put together
2 a report, this information is going to be very useful to
3 understand as much as possibly available to us, to the public.
4 I think they will help us reach much better final
5 recommendations.

6 My comments are something that really comes to mind,
7 one of several questions, and I'm happy to pause at some point,
8 let other commissioners ask theirs -- what comes to mind is you
9 have the geothermal operations that are now going to take
10 advantage of this secondary business. It's not dependent from
11 my understanding and listening to the presenters.

12 If you have a 50-megawatt geothermal, the model of
13 lithium production isn't dependent on that 50. In other words,
14 it's going to have to be a standalone, ongoing mining operation.
15 Am I understanding that correct to me, perhaps the projected
16 demands of each operator facility?

17 MR. BENSON: We are in the process of determining how
18 much our energy usage is going to be at the commercial level.
19 So, we don't have the information at this time to make a
20 definitive statement on that.

21 COMMISSIONER OLMEDO: Any of the other panelists have
22 an answer for that?

23 MR. TURNER: Commissioner Olmedo, it's Jim Turner. The
24 way we look at it and I think this is the way the other guys
25 look at this too, is the power plant has to stand on its own two

1 feet and the lithium plant has to stand on its own two feet
2 financially.

3 Now, they're interrelated because one provides the
4 brine over to the other one, but financially, each has to stand
5 on its own two feet to be a success. And that's the way
6 Controlled Thermal Resources looks at it. And I'm sure the
7 other two companies look at it the same way.

8 COMMISSIONER OLMEDO: Thank you, Jim. That came across
9 very clear in your presentation. It hasn't come across that
10 clear in past presentations or in the earlier two presentations.
11 So, yeah, thank you, Jim.

12 It seems clear that that CTR is a resource facility and
13 that its operation is based on a resource and energy being an
14 additional business benefit to that business model. Would that
15 be fair to say that that's kind of the order that I used, Jim?

16 MR. TURNER: Yes, I think so. Definitely the minerals
17 are probably the big dog, if you will, and energy is the
18 smaller, but they're both viable and they both will play a
19 significant role, I think, in the California economy, and
20 especially the Imperial County economy.

21 COMMISSIONER OLMEDO: And one more question. I have a
22 lot of questions, but I think that maybe I can always do follow-
23 ups. One thing that I'm probably known for is bringing up the
24 concerns about the waste streams. And I appreciate it being
25 brought up and how it's more invasive and open mining and other

1 types of methods.

2 There's a concern locally from some who may or may not
3 be as familiar as all of you. But there are concerns about the
4 seismic activity, about how much of disruption occurs in the
5 siphoning or the production whether it's for the energy and
6 whichever way it occurs. You know, there a lot of talks about
7 the impurities or the sludge, the waste and how that would be
8 handled.

9 Again, it was very clear in the presentation of the CTR
10 model, being one of the focus areas of showing there was minimal
11 amount of waste. In some of the existing facilities, I imagine
12 that they've been around for quite a number of years, there's
13 talk about what comes next.

14 Even with the technology now, if I understood
15 correctly, there's always a forward thinking of what's the next
16 technology model that's going to come out that may be more
17 efficient, maybe cleaner, maybe better.

18 But is there any thoughts or any thoughts right now as
19 to something for myself and the general public, how are the
20 waste streams going to be mitigated? And I'll say this; there
21 are concerns that even when talking about Salton Sea, there's
22 this optimism of the decline in oil expansion of the Playa and
23 the public health concern that exists. And those two don't seem
24 to reconcile right now.

25 There's a public health concern, there's an optimism of

1 more open area in the known geothermal area, and the mitigation
2 doesn't seem to be happening as quickly as we would hope. So,
3 obviously that's one issue, but the other is the waste streams.
4 And is there anything that you can comment to that is to how the
5 different bus presenters are addressing that?

6 MR. TURNER: Yeah, so I will. Having been a part of
7 BHE for quite a few years and have run the part of the
8 organization and having been one of the senior leaders over at
9 EnergySource, along with Derek and his team, I can tell you that
10 environmental responsibility is right at the top of the list of
11 important items on both those other companies, as well as CTR.

12 It has been even back in the 90s when I was running the
13 Berkshire area out there, when I was part of EnergySource,
14 environmental responsibility, being a good neighbor, trying to
15 minimize or eliminate waste is always on the front page of
16 whatever we're working on.

17 And not that it's easy to do. I mean, in some cases,
18 it's difficult. But I can guarantee you that all three
19 companies want to have a minimal waste to no waste if we can, to
20 be the absolute best neighbor to the farmers who are out there.
21 And that's one of one of CTR's top criteria. And I have to
22 imagine it's the same on the other two companies that are
23 developing out there.

24 We have almost daily conversations at CTR on water use
25 reduction, not producing any waste. And in some cases, our

1 mandate to our employees is okay, we will not have any water
2 discharged from our site. In other words, we don't need an
3 NPDES permit. That was the criteria at EnergySource when I was
4 there. They were able to fulfill that. I think BHE is in that
5 same vein.

6 So, while it may appear that that level of care isn't
7 there, I can tell you that it is and all three companies are
8 united on being the best possible neighbor we could be out there
9 on an environmental scale. And in fact, if you look at BHE,
10 it's sitting right next to the Sonny Bono reserve and that's
11 important to us that we can have that kind of a neighbor and be
12 welcomed.

13 COMMISSIONER OLMEDO: Thank you, Jim. I do have other
14 question but I'll wait, thank you.

15 MR. WHITTAKER: Other questions from any of the
16 commissioners? I see, Chair Paz, please go ahead.

17 CHAIR PAZ: Thank you. And my questions are probably
18 going to take a lot more time to get into and I'm assuming
19 that's why they were not touched in detail in the presentation.
20 So, I will start with that.

21 But there was information that was given to us both by
22 Alex presentation, for example, on the different methods of
23 direct lithium extraction, and those different methods, will
24 probably, I'm assuming require different resources and have
25 different levels of waste streams.

1 I would like to see, especially as we're putting in
2 analysis on this topic, a lot more detail on the typical
3 resources taken and then the waste streams that come along with
4 them. And as it refers to our panelists, though I heard various
5 times that there was minimal waste, minimal use of resources,
6 that it will be beneficial for all of us to know what that
7 threshold is. What is minimum water, how much water are we
8 using? Are we using fresh water? Where's the water coming from?

9 So, those levels of details I think are going to be
10 important again, for us to do the analysis that we're charged
11 with doing.

12 MR. WHITTAKER: Any of the panelists wants to respond,
13 we'll start with Eric, if you'd like.

14 MR. SMITH: No, I think it gets to that stage, it'd be
15 good to see exactly what the commission needs in order to make
16 an informed analysis and we'll proceed accordingly.

17 MR. WHITTAKER: Derek, would you like to comment?

18 MR. BENSON: Sure. And one of the things, I guess, to
19 kind of weigh in with respect to we talk about impurities, we
20 recognize that impurity management, a lot of it by volume is
21 sodium potassium, calcium -- all of those stay ... they come out
22 of the well dissolved in the brine and they ultimately end up
23 back in the reservoir, still dissolved in the brine.

24 Things that we take out, we are precipitating or
25 recovering material very selectively, so that we do minimize the

1 waste and/or it's a co-product. So, the ultimate goal for the
2 project is an efficiency from the standpoint of material inputs,
3 because each has a cost. But from a standpoint of managing the
4 brine to get to a point where you can extract the lithium, most
5 of what we're looking at, are potential for co-product.

6 So, that's been the focus, obviously, in a 10-minute
7 window, we can't kind of get all the way down into all the
8 details there in terms of what we have, in terms mass balance
9 and these kinds of things. But from a standpoint of in
10 efficiency, in terms of energy, water, material inputs, the
11 geothermal brine just speaking comparatively, has a number of
12 attributes that obviously give it significant advantage.

13 We were talking about these processes, the kinetics are
14 always enhanced by temperature. It's a luxury that we are awash
15 in high temperature fluid, so you don't have to put a lot of
16 heat into the system. That obviously saves fuel, it saves on
17 emissions, these kinds of things.

18 So, in this discussion, it was a bit of a comparative
19 analysis rather than absolute numbers. But I want to give you
20 guys a sense, like when we talk about ... there are no sludges per
21 se; what we would remove would be generally speaking, a co-
22 product or the actual product in the form of lithium.

23 The bulk of materials in terms of what is dissolved in
24 that brine remains in that brine. And that's particularly sodium
25 potassium and calcium in our case. We don't extract those. We

1 just leave it as dissolved solids in the brine.

2 And that re-injection is obviously, it's part of the
3 power plant. Each power plant has a requirement to re-inject,
4 and that provides the pressure support to the resource. It's
5 also what makes the renewable attributes of geothermal
6 renewable.

7 You put the fluid back in, as it moves across the
8 magnetic body, that's heated up that area, it's reheated and
9 then reused. So, those are the attributes that the minerals
10 sort of continuing.

11 So, apologies, we don't have absolute numbers, but it
12 was meant to give you some relativity to vis-a-vis existing
13 processes.

14 CHAIR PAZ: Yes, I understand given the time and it was
15 a very good overview. Just my question is, as we're getting
16 ready to delve down and do our analysis, it will be helpful to
17 have absolute numbers and a better understanding of what we mean
18 when we're saying these processes and methods are
19 environmentally responsible. What's our definition, is it
20 environmentally responsible in comparison to A, B, and C, things
21 of that nature.

22 I understand, thank you.

23 MR. WHITTAKER: Alright. Thank you, Chair Paz for the
24 question. We have a hand up from Commissioner Ruiz. Please go
25 ahead.

1 COMMISSIONER RUIZ: Yes, thank you all for wonderful
2 presentations. In talking to members from the community, one of
3 the concerns is -- and I think you have the chairperson who has
4 mentioned that and Commissioner Olmedo as well.

5 In a community, in a region that is already plagued
6 with limited water, it is a concern for a lot of people the
7 amount of water that will be used. And I heard from most of you
8 the use of water here will be very conservative.

9 But nonetheless, we've seen what this industry has done
10 in other places in the world. And I was checking some numbers
11 in North America, just to produce one metric ton of lithium
12 require over almost 1.5-acre feet of water. Here, I heard
13 numbers between 50 and 90,000 gallons.

14 What is the projection now? And what is the technology
15 that will be used in order to save more water in the long run?

16 MR. TURNER: Commissioner Ruiz, this is Jim Turner.
17 What we're able to do, I think because we're building from the
18 ground up as a Greenfield Plant with an integrated design, is
19 that we're looking at how many times we can reuse a gallon of
20 water. And that is specifically to minimize the amount of
21 freshwater that we need.

22 And that's important. We're all very serious about
23 minimizing that use of water, but it depends on the technology.
24 And if you remember what Alex Grant mentioned, that there's lots
25 of different technologies out there that can be used for lithium

1 extraction, DLE in this case -- they all have their pluses and
2 minuses.

3 And one of the mines is that to my knowledge, they all
4 require water in some form and in some amount. And the key for
5 us is to look at how many times we can reuse a gallon of water.
6 And that's our method of minimizing the first water take.

7 MR. WHITTAKER: Eric or Derek, would you like to add
8 anything?

9 MR. BENSON: Yeah, no, I guess just to respond
10 directly, obviously we recognize, even though within the IID
11 service territory, we are in a low desert that has water, and
12 there is an allocation for industrial use. We certainly are
13 attuned to that issue and try to minimize that water use.

14 And again, that's been a huge focus of the engineering
15 and design effort. And why in terms of both the process
16 designed development, the water balance was given equal time in
17 terms of trying to do that optimization.

18 The numbers you cited previously by those volumes,
19 those are orders of magnitude, I think, higher than what you'll
20 see on the geothermal-based resource in terms of water
21 consumption per ton of product. A lot of what the water use is
22 for is for a rent cycle, if you will.

23 So, we have to do some treatment of surface water to
24 get it up to a quality standard that's acceptable. And so,
25 we're trying to minimize that. That has cost to do that. So,

1 again, water efficiency is huge. And so, again, maybe in due
2 course, we can get you that number specifically. But the
3 reality is it's significantly less than what you quoted.

4 So, again, we're trying to minimize inputs, trying to
5 minimize costs, and that's certainly one that we recognize, it's
6 particularly important here. It's significantly more important
7 than in areas where you have high desert production like in
8 South America, where they have no water use, and no water
9 resource.

10 Though, a lot of projects that we're involved with,
11 with ILiAD technology, it's a paramount issue. So, we hear you,
12 we recognize it, and that's been front and center.

13 COMMISSIONER RUIZ: I agree with what Jim and Derek
14 have said, and I'll also point out that as mentioned earlier, in
15 Rizaldo's presentation, that one of our requirements from the
16 California Energy Commission is making sure that we have
17 minimized our water usage to a 50,000 gallon per metric ton,
18 which is 90% less than a water that's needed in South America by
19 comparison.

20 MR. WHITTAKER: Great, thank you. Well, I think in
21 the interest of time, we'll have one final question from
22 Commissioner Flores, and then we'll move on to the next phase of
23 the meeting. So, Commissioner Flores, please go ahead.

24 COMMISSIONER FLORES: Sure. I was just going back to
25 when the presenter was talking about the reinjection of the

1 minerals, once they've come up and they've extracted the
2 lithium, and then reinjected that.

3 And I was just wondering, I mean, although the minerals
4 were there, they're going to be there in different
5 concentrations. So, will this end up changing the way resources
6 are coming back up, so the lithium that's coming back up at all,
7 eventually? Are there any concerns with that?

8 MR. TURNER: Commissioner Flores, this Jim Turner.
9 The amount of minerals that we're talking about, basically are
10 miniscule compared to the high mineral concentration minerals
11 that are in that brine. For example, sodium chloride, which is
12 table salt, if I remember right, is probably about 6% and
13 lithium is in that 2 to 300 plus parts per million. So, were
14 many, many, many times smaller.

15 So, when you take out the lithium, it doesn't even
16 change the volume of the of the leftover brine that's going back
17 into the ground as if we were taking out the sodium chloride,
18 which is a much bigger amount of material, if that's what we're
19 looking for.

20 So, changing the brine other than under a chemical
21 analysis, you might see that over a long period of time, that
22 the lithium concentration might be depleted. Like we talked
23 much earlier today, you wouldn't see a change in the chemistry.

24 MR. WHITTAKER: Eric or Derek, want to answer that
25 question as well?

1 MR. SMITH: No, I concur with what Jim said.

2 MR. BENSON: Yeah, yeah. Derek here, not nothing
3 additional. I think Jim hit it. The pilot work we've done, it
4 shows that the brine that we take out of the ground is
5 essentially the same, but for the depletion of the lithium
6 fraction, which is just 250 PPM on order of magnitude. You see
7 sodium at 60 or 70,000 parts per million.

8 So, just a completely different concentration of sodium
9 and then calcium and potassium in short order, right behind,
10 maybe 30,000 and 20,000 parts per million. So, those are the
11 things you want to keep then just because there's so much of it
12 and that's consistent with the reservoir that's in place.

13 MR. WHITTAKER: Alright. Thank you all. Thanks to
14 the commissioners for excellent questions. Thank you to the
15 panelists. I do see that we have a number of questions in the
16 Q&A, and I believe that there's going to be an opportunity for
17 public comment, which Elisabeth has just put up on the screen
18 here. So, perfect timing for that.

19 In that case, I'll segue to the next segment and just
20 thank you all for joining us and turn over the floor to
21 Elisabeth.

22 MS. DE JONG: Thank you very much for that great panel.
23 So, yes, we will be turning now to public comments.

24 This is for public comments regarding the Lithium
25 Extraction Methods Workshop, the presentations and panel

1 discussion that we just saw. If you're joining us by Zoom on
2 the computer, please use the raise hand feature. And if you've
3 called in, please dial *9 to raise your hand, and then *6 to
4 unmute your phone line.

5 We have the hands raised first, and then to the phones,
6 and then the written comments. Alright. I'm seeing lots of
7 hands raised. So, let me go ahead and start with Craig, and you
8 should be able to unmute yourself.

9 Alright. Well, we'll come back to Craig if he's able
10 to unmute. But Orlando Foote, if you're able to unmute, go
11 ahead.

12 MR. FOOTE: Now, can you hear me?

13 MS. DE JONG: Yes.

14 MR. FOOTE: Oh, good. Yes, just a general question.
15 Maybe this is a paver to go on further down the pathway. But we
16 know that certainly there have been issues raised to the east of
17 us in particularly in Nevada, with some of the environmental
18 organizations relative to mining activities in general and even
19 the lithium thing.

20 Has there been any discussion of the cost of
21 remediation down the line, recognizing that this remains as a
22 mining operation? And we know that in Hungary, mining operations
23 are generally permitted with a reclamation component bonded in
24 or financed.

25 Has there been any discussion of that in connection

1 with these particular projects in the context of both permitting
2 and downline what we're going to be left with after these
3 projects have completed their useful life?

4 MS. DE JONG: I'll jump in here just really quick and
5 mentioned that in future meetings, we will be discussing and
6 doing the same kind of deep dive on all the different topics
7 outlined in AB 1657. So, we will be going over environmental
8 impacts as well as permitting in future workshops. So, we
9 encourage you to stay tuned with us, and then I'll turn and see
10 if there's any immediate responses.

11 Oh, yes, Jim, I see your hand raised.

12 MR. TURNER: Yeah. So just to respond to Mr. Foote's
13 question, one of the beauties of what we're all three doing is
14 that we don't create a mine in a normal sense of a mine. It's a
15 liquid reservoir down there.

16 However, in our probing process, we do put up a bond
17 for basically tearing down the plant, returning it to earth at
18 the end of its useful life, whenever we're finished doing work
19 with that, just the same as the geothermal plant.

20 So, that's already in the mechanics or the permitting
21 process, and since we're not a hard rock mine or a big seller
22 mine that has these horrendously large evaporation ponds, when
23 we're all done and we move away, it will look just like it did
24 before we got there.

25 MR. FOOTE: Thanks, Jim.

1 MS. DE JONG: Alright, thank you. So, we'll turn to
2 another public, and this one is for LCJA ECV office, go ahead
3 and speak.

4 MS. MARIELA: This is not a particular question, this
5 is more of just a general comment. This is Mariela Loera from
6 Leadership Council, and I want to raise some of the concerns
7 that we have heard from community in community meetings and as
8 well as community forum that we held with Commissioners Frank
9 and Luis. So, thank you both for that.

10 They have already raised some of these questions in
11 this space, so thank you for doing that. We'll definitely take
12 those answers back to community who asked them.

13 But I would say, the main concerns the community have
14 expressed are around concerning the lack of just general
15 information that has been provided to them on how those
16 development will affect their wellbeing and the lack of just ...
17 the lack of community involvement with them.

18 So, they're specifically asking for the distribution of
19 accessible educational material and more fluid conversation.
20 So, like I would suggest like basically all of the information
21 that has been shared in this space being translated for the
22 general public and then shared with them would be ideal.

23 Some of the specific questions that they have asked and
24 again, Commissioner Luis and Frank already said some of this, is
25 around water use, sourcing of water, recycling of water, the

1 effect this will have to the land around them, especially like
2 **at the San Andreas fault** and ground level issues. Thank you.

3 MS. DE JONG: Thank you very much for your comments.
4 All right. I'm going to turn to Vijay Dhar.

5 MR. DHAR: Yeah, can you hear me?

6 MS. DE JONG: Yes.

7 MR. DHAR: Actually, lately there has been a lot of
8 debate about the cell chemistries, whether the nickel and cobalt
9 is going to be used or not and preferences not to use them. And
10 there's a lot of news that actually Tesla recently has been
11 moving towards the chemistries which uses iron and phosphate
12 inertia to lithium.

13 So, I was wondering whether these three companies,
14 whether they're agnostic to what the cell chemistry is, or they
15 have to work upfront several years before to really make sure
16 that the lithium is compatible with the cell chemistry that is
17 going to be used, ultimately?

18 MS. DE JONG: I see you raise your hand, Jim.

19 MR. TURNER: Yep, I did. So, Mr. Dhar, we're
20 relatively agnostic. I think that's true for the other two guys
21 as well, in that what is being sought after is the lithium and
22 it's the molecule that contains the lithium that will affect the
23 chemistry. And all of our technologies are really pretty
24 similar at the end of the day.

25 And if we do well, we all have the ability to change

1 the lithium as it's extracted from the brine into the molecule
2 of choice that the battery maker wants. So, as that battery
3 technology develops, and maybe they go from lithium carbonate or
4 looking hydroxide to another form of lithium, say lithium
5 fluoride that has a fluorine atom on it, then we all have the
6 ability if we choose to, and it's economically viable, to change
7 the back end once we get the lithium out.

8 So, the real key is being effective at getting the
9 lithium out of the brine, then we can do virtually anything with
10 it at that point.

11 MR. DHAR: Thank you.

12 MS. DE JONG: Right, Michael Garabedian.

13 MR. GARABEDIAN: Good afternoon. Thank you to Lithium
14 Valley Commissioners. I'm wondering if you can give us in an
15 introductory way the transmission infrastructure requirements,
16 including routes, what's their now and ownership. I'm not
17 raising environmental impact issues, a question about
18 operational needs. Thank you.

19 MS. DE JONG: Thank you for your question. And I'm
20 going to go ahead and jump in on that. That we encourage you to
21 please join in next month's meeting as well as future meetings.
22 In next month's meeting, we will be discussing and starting to
23 break on a way of discussing infrastructure both existing and
24 needed. So, please join us for that. I don't think we'll have
25 the time to go into infrastructure today.

1 MR. GARABEDIAN: Thank you.

2 MS. DE JONG: So, I had a public comment from someone
3 named Craig before, no last name -- I just want to check if
4 you're able to unmute?

5 Okay. I'll go ahead to Christina Marquez.

6 MS. MARQUEZ: Can you hear me?

7 MS. DE JONG: Yes.

8 MS. MARQUEZ: Great, thank you. Good afternoon,
9 commissioners. I just wanted to introduce myself. My name is
10 Christina Marquez speaking on behalf of over 3,500 members of
11 IBEW Local 569, the Electrical Workers Union, representing San
12 Diego and Imperial Counties.

13 I really appreciate you taking the time to put together
14 the panels and have the stakeholders speak so that the community
15 can learn about how intricate this is. You know, being a
16 journeyman myself, looking at some of these line diagrams and
17 looking at the relays and the switches, as you can see, it's
18 really complicated. And we want to make sure that people that
19 are trained and certified, electricians are doing this work.

20 We actually have a new building that is scheduled to
21 break ground soon, 10,000-foot facility in Imperial that will
22 have the state certified electrical apprenticeship held there in
23 Imperial. And our members have built over two gigawatts of
24 renewable energy. And the vast majority of these clean energy
25 projects have been built under project labor agreements.

1 These projects have generated good paying jobs,
2 employing local workers, and have provided skilled training and
3 benefits in an economically hard-hit region that includes high
4 scoring CalEnviroScreen communities.

5 From a local benefits and workforce perspective, we
6 believe the following are critical to embed in statewide
7 initiatives or related policies. Number one, require a strong
8 workforce and labor standards that create high quality jobs for
9 local community members and support state-certified
10 apprenticeship opportunities.

11 Number two, ensuring efforts in Imperial County
12 compliment the ongoing work at the Salton Sea to protect public
13 health and restore habitat. We have joined the allies in the
14 conservation community, IID, and Imperial County to support
15 these efforts over the years at the sea. It is vital to the
16 health of communities and Imperial County.

17 And finally, number three, ensure projects are being
18 done in a way that is environmentally responsible and safe for
19 workers and surrounding communities. This also ties into point
20 one; ensure proper skills and training for construction,
21 operations, and maintenance personnel is critical to help ensure
22 facilities are running safely.

23 And as you can see, coming from an apprenticeship
24 myself, I see the need for working safe and getting things done
25 right. And I really appreciate the statewide leadership that

1 you guys have provided and the opportunity to comment. Thank
2 you.

3 MS. DE JONG: Thank you very much. Alright. We have
4 another question coming from Nikola Lakic.

5 MR. LAKIC: Hello everyone, can you hear me?

6 MS. DE JONG: Yes.

7 MR. LAKIC: Thank you commissioners and panelists and
8 presenters. I was very pleased to see those presentation and
9 knowledgeable people talking.

10 I'm disappointed that I haven't been invited to make
11 presentation myself. I'm not selected as commissioner, although
12 it would be much better because I would have chance to make a
13 report to the Department of Energy and EPA, but I still intend
14 to send the report.

15 Anyway, the thing is my proposal for the restoration of
16 the Salton Sea incorporates also harnessing lithium by taking it
17 from salty water from the lake. I understand all panelists and
18 expert talking about taking lithium from geothermal brine.
19 That's great. We are not in conflict.

20 But what I am proposing is from architectural point of
21 the view, I'm graduate engineer architect -- that taking
22 desalinization on the lake, salty water has high density and has
23 tendency to go to the bottom.

24 I'm taking that water, using in my design, geothermal
25 power plant into boilers, producing electric energy, have

1 byproduct potable water and brine, which can be used for
2 extraction of lithium radio. So, it's win-win situation.

3 I hope that I will be invited soon to make presentation
4 because it incorporated ... this expertise -- I saw presentations
5 and I read the reports. Excellent! We should work together on
6 this one.

7 My proposal is providing clean environment, potable
8 water, energy, and much, much more lithium. This is in addition
9 to production of lithium from geothermal brine. So, I'm
10 producing lithium from brine, from Salton Sea. I'm doing
11 desalination, and also, I'm importing sea water from Long Beach,
12 along corridor, and from Sea of Cortez.

13 I have dividing lake on two sections. It's about 120
14 slides. It's not something for three minutes comment,
15 definitely. Therefore, I was hoping that I would be invited
16 from Chairman Silvia Paz or Elisabeth to make ... I'm very sorry
17 that I haven't been invited today. It's amazing stuff, you
18 should definitely consider that.

19 MS. DE JONG: Thank you very much for your comments.

20 MR. LAKIC: Thank you.

21 MS. DE JONG: Danielle, you should be able to unmute.

22 MS. DANIELLE: Hi, good afternoon. Can you hear me?

23 MS. DE JONG: Yes.

24 MS. DOOLEY: Hi, this is Danielle Dooley with the
25 public advocate's office at the CPUC. I had a comment and well,

1 probably a comment and one question for the panelists. So, on
2 the comment issue; I think this was said by panelist Turner but
3 I could be misremembering. And it concerns workforce
4 development.

5 So, he had said earlier in the presentation that they
6 would be able to hire locally and provide training. So,
7 basically, my comment is maybe in the future, I would be very
8 interested to know what types of jobs have been offered at
9 facilities that were constructed and like local areas. And
10 generally, what the average wage was maybe, and like the quality
11 of the jobs and what kind of training there is just to make sure
12 that that is also part of the conversation.

13 The question I had is I know in context that -- and the
14 Geysers up in the Santa Rosa Healdsburg area, they were having
15 trouble with water use at some point and its project, and they
16 were able to solve at least some of that with Aqua for Recharge
17 and water recycling.

18 So, I know we've talked a little bit about that, but I
19 was wondering given the needs of the water use of just the
20 geothermal plants in general, and also the lithium extraction,
21 would building any of these facilities require co-locating a new
22 either water recycling facility onsite, or one that could be
23 shared, or will it require desalination as the previous speaker
24 asked. So, that's my main question.

25 MS. DE JONG: Thank you. Jim, I see you raised your

1 hand.

2 MR. TURNER: Sure. Ms. Dooley, as we all mentioned,
3 we've all learned about water usage. It's a precious resource
4 not only in Imperial County, but all out west here. And we at
5 CTR, we're looking at different waters that we can use. Some of
6 them may require some form of desalination or cleanup. You
7 mentioned that maybe there's a way that we could have one larger
8 unit so to speak and we could all share. I mean, that's a
9 possibility.

10 But the one thing is that BHE, EnergySource, and CTR,
11 we're all very concerned about water. And as I mentioned, we
12 all look to find ways to minimize the take of fresh water out of
13 the canal supplied by IID.

14 There are other waters out there, but they all take
15 different forms of cleanup if you will, or desalination, but
16 they're all on the table until we take them off.

17 MS. DE JONG: Thank you very much. I see Derek Benson
18 has raised his hand.

19 MR. BENSON: Yeah, no, I just wanted to chime in real
20 quick. I think the issue in the Geysers a very different
21 resource issue. And so, their reclamation of that water was to
22 enhance production. I think the Salton Sea resource is a very
23 different geological feature. It's a hydrothermal resource at
24 its heart.

25 So, a little bit of apples and oranges there, not to

1 take anything away from what Jim just mentioned, but it's
2 geologically a very different setting. So, we don't have that
3 issue. We're a water rich geothermal resource. So, we won't
4 need to replenish in that regard.

5 MS. DE JONG: Thank you very much, Derek. And then
6 I'll reiterate that in a future meeting, we'll be going over
7 environmental impact and water will be one of those topics that
8 comes up as well. So, we encourage further participation on
9 that same topic. Thank you.

10 Alright. So, I'm just going to turn to the written
11 comments that we have in Q&A and in the chats before we close
12 out public comments. And keeping an eye on time, we may not be
13 able to answer some of these live, but we'll do our best.

14 One quick question, and Jim Turner, maybe if you are
15 able to answer. There's a question here that says, when does
16 CTR plan to drill a well?

17 MR. TURNER: Elisabeth, we plan to be ... it's called
18 spudding, starting that well-drilling late September. And we're
19 just waiting on the final materials to be delivered so that we
20 have all the right materials on site before we erect a drill
21 rig. So, we're getting close. But it looks like late September
22 is when we'll start.

23 MS. DE JONG: Great. Thank you so much. Alex Grant,
24 if you wouldn't mind unmuting, I'm going to call on you for a
25 second.

1 There's a comment here, but we will say it out loud as
2 well, just to make sure that it goes on the public record. Is
3 it possible to extract lithium from saltwater converted to fresh
4 water in desalination plants? And I see that you responded -- if
5 you wouldn't mind reiterating.

6 MR. GRANT: Is it possible to take lithium out of
7 ocean desal concentrate? Is that the question?

8 MS. DE JONG: It looks like it; from salt water
9 converted to fresh water in the desalination plants.

10 Mr. GRANT: So, the ocean contains around 0.2
11 milligrams per liter of lithium, which is very well comparing
12 that to the Salton Sea of between 200 and 300 milligrams per
13 liter. So, it's like three orders of magnitude, lower
14 concentration. So, you have to move a thousand times more brine
15 to make the same amount of lithium.

16 When you do desalination on ocean water, you produce a
17 brine, actually is what they call it. That is like two to three
18 times more concentrated than the ocean proper. So, you're only
19 increasing the concentration of lithium by 2 to 3x, but you're
20 still a thousand times lower concentration than a geothermal
21 brine or any other continental brine.

22 And I've reviewed DLE technologies that have tried to
23 produce lithium from the ocean directly and from desal
24 concentrates. And I've seen some interesting information, but I
25 would not put my money on that approach versus processing a

1 continental brine, certainly.

2 And yeah, I mean, a number of folks have tried to make
3 potassium compounds like fertilizer from the ocean and different
4 industrial minerals. But the problem is there's nothing really
5 valuable in the ocean and from these desal concentrates.

6 So, I've probably seen at least two to three different
7 folks telling me war stories about trying to make industrial
8 minerals from diesel concentrates and the conclusion each time
9 is, oh, there's actually nothing really valuable in the ocean.
10 Which kind of makes sense if you think about how the ocean is
11 formed. But that's another story.

12 So, I hope that answers the question. Continental
13 brines for me for now.

14 CHAIR PAZ: Alex, if I can just interrupt a little bit,
15 because you talk about the concentration from desalination;
16 would that apply across the board? For example, the Salton Sea
17 has very high concentrations of salty water, that the
18 concentration will be less than geothermal.

19 MR. GRANT: My understanding is it would be
20 significantly less. I don't know the lithium concentration in
21 the raw Salton Sea water, but I do not understand it to be very
22 high. So, even if you were to use reverse osmosis to desalinate
23 the water from the actual Salton Sea proper, you would probably
24 still have orders of magnitude lower lithium concentration. So,
25 the geothermal brine thousands of feet below the Salton Sea is

1 probably a much better target.

2 CHAIR PAZ: Thank you.

3 MR. GRANT: Yep.

4 MS. DE JONG: Alex, if you wouldn't mind sticking
5 around, this one might continue to you as well, but Ian Warren,
6 see if you can join us as well. There's a comment from James
7 Blair that both of you sort of addressed already, but we'll read
8 it for public record.

9 It says, I imagine the evaporation (triple effect) step
10 in the DLE process mentioned by EnergySource is relatively small
11 compared to the conventional brine evaporation for lithium
12 processing in South America. But how to account for water loss,
13 if not also reinjected at the Salton Sea.

14 MR. GRANT: Yeah, I typed up a reply to that comment
15 to help that person out. But yeah, basically when mechanical of
16 operation like triple effective operation is used in a DLE flow
17 sheet, the water is recycled. So, energy is being put into the
18 system and water's essentially being taken out and reused. That
19 is different or evaporative processes used in south America, for
20 example, and other kind of high-grade continental brines.

21 In that case, the wind picks the water away with it and
22 it is lost. It is not recovered. So, those two things may both
23 be called evaporation because water is becoming a vapor from a
24 liquid. They are fundamentally very different. So, it won't
25 result in necessarily very high water use for ideally flow

1 sheet, for example.

2 MS. DE JONG: Great, thank you.

3 CHAIR PAZ: Elisabeth, if I can just do a time check,
4 it's 4: 55. So, maybe if we can just read ... if there are any
5 other questions, but not the responses, thank you.

6 MS. DE JONG: Yes, okay. So, one question asked if
7 anyone has patents protecting the extraction process. And at
8 this time, our answer is that there are multiple patented
9 processes for direct lithium extraction.

10 And then I think let me see, there's just a couple of
11 more comments here.

12 So, one question was, would these projects be union
13 jobs? And for that one, I will, again, reiterate that in a
14 future workshop, we will be going over workforce developments.
15 We encourage you to stay tuned as we get towards that.

16 What can you tell us? Oh, I'm sorry. I was going to
17 reiterate the question that we already addressed earlier. Will
18 the findings of the pilot plants be shared with the public?

19 So, if this is in regards to this RD&D projects that
20 Rizaldo Aldas referred to earlier; there are public reports that
21 are published by the CEC as a result of those grant projects.
22 That is when the grant projects end.

23 And I believe that is all of the questions in the Q&A.
24 And one thing that I just want to reiterate is that Lithium
25 Valley Commissioners, when you write questions in the chat, we

1 still do want to make sure that they are on public record.

2 So, I'll acknowledge that Commissioner Olmedo said that
3 there is more data needed. And we only heard about brine and
4 not air emissions.

5 Commissioner Ruiz said, as with any mining or any other
6 industry, impacts to the environment are present as minimum as
7 they may be, can we discuss it at the next meeting and itemize
8 these impacts, including air emissions.

9 And again, so we'll be going over environmental impacts
10 as well as economic impacts in the future readings. So,
11 luckily, I think that's the next thing on the agenda, is to
12 assign the times for those events. So, thank you very much. I
13 believe we've addressed all of the questions and we can move on
14 to the next item.

15 CHAIR PAZ: Thank you. So, at the last meeting, there
16 was an agreement for the topics that would be covered in the
17 following meeting. So, we said that during the meeting in
18 August, we will be discussing further in geothermal development;
19 in September, market opportunities for lithium; October,
20 economic and environmental impacts.

21 Today, we want continue moving forward and think of
22 December also. There was a recommendation that we cover
23 incentives. As you notice here in our timeline, we do not have
24 a November meeting. So, what we want to do is have a longer
25 December meeting to be able to cover maybe two topics.

1 So, I have a recommendation for us to consider that
2 would slightly modify the October meeting incorporated into
3 December. So, here's two parts of the proposal.

4 First is that in December we have a slightly longer
5 meeting, maybe from 11 to 12 joining in to have/take care of any
6 administrative items and updates, then have a one-hour break
7 from 12 to 1. And then have two workshops from one to five.
8 The first workshop could be incentives and then another workshop
9 economic impacts.

10 So, we would be moving the economic topic from October
11 to December to cover it along with incentives. And that will be
12 the October workshop, the full two hours to focus on only
13 environmental impacts, which many had suggested we needed to
14 sort of make sure we had enough time to cover both environmental
15 impacts and economic impacts.

16 So, I know that was a mouthful. But again, my
17 recommendation is that we, in summary, in October only cover
18 environmental impacts, in December, we have a longer meeting
19 where we would be having two workshops; one on the economic
20 impacts, another one on the incentives.

21 So, unless, anyone has any opposition, that's the way I
22 would recommend we move forward, but I would like to hear from
23 you and I see that Luis has his hand up.

24 MR. OLMEDO: Yeah, Madam Chair, just so I understand
25 this; are you suggesting moving economics workshop to December,

1 so it's incentives and economics, and then leaving a standalone
2 sort of agenda for environmental impacts? Do I understand that,
3 correctly?

4 CHAIR PAZ: Correct.

5 MR. OLMEDO: I wanted to further make the
6 recommendation that while we have in October -- and I do support
7 the recommendation, with the caveat that I believe that economic
8 environmental impacts are key to every element, every
9 presentation as we've seen today. But with that, I support the
10 recommendation.

11 CHAIR PAZ: Thank you. So, if there are no objections,
12 maybe we can just solidify. We don't need to vote on it, but we
13 can just solidify that this is the way we're moving forward.
14 Thank you.

15 So, I think that was quick. So, to summarize,
16 Elisabeth, we will be making those changes. In October, we will
17 cover environmental impacts. In December, we will have a
18 slightly longer meeting with a one-hour break in between the
19 administrative items and the workshops. And in December, we
20 will cover the topics of economic impacts and incentives.

21 MS. DE JONG: Thank you very much.

22 CHAIR PAZ: Thank you.

23 MS. DE JONG: Alright. So, we will move on to public
24 comments. And I'll just reiterate this public comment period is
25 specifically just on the previous item of future meeting

1 planning. And then if we have other comments still remaining,
2 we'll go into those in the next comment period after our general
3 public comments.

4 So, if anyone additional raises their hand right now,
5 I'll call on them. And if not, we'll move on to the general
6 public comment and address the two hands raised.

7 Not seeing any additional public comments. And we'll
8 go ahead and ask Hector, who has a hand raised, you can go ahead
9 and give your comments. Hector, are you able to unmute?

10 I'll try to come back to Hector. Nikola Lakic, you
11 should be able to unmute.

12 MR. LAKIC: Can you hear me now?

13 MS. DE JONG: Yes.

14 Mr. LAKIC: Thanks. Just this question that was posed
15 to Alex Grant about can we produce lithium from seawater.
16 That's true. In order to produce one ton of lithium, you need
17 to process 5 million tons of the seawater. So, it's not
18 economic, it's not feasible.

19 But in my design, in my methodology, which I get patent
20 for, so Mr. Alex might not know that -- I am increasing
21 salinity. So, look, it's hard really without illustration, but
22 I'm producing electric energy byproduct potable water, and salty
23 brine, which is concentrated again and again, increasing
24 concentration.

25 I'm storing it in my wellbore, which is via a diameter

1 about five, six feet straight down two miles. So, there'll be
2 24 variables in one power plant. So, when it's fluid, I'm
3 taking that out in near nearby mineral extraction building, so
4 concentration will be enough. It's not just salty water from
5 ocean.

6 I'm taking salty water from bottom of the Salton Sea --
7 first of all, I'm bringing from ocean, but they'll be
8 concentrated, I'm cleaning Salton Sea and producing that brine
9 that can be used for production of lithium, very concentrated.

10 We can produce much, much more -- I don't want to say
11 much more. Let's put in addition to whatever panelists talking
12 about harnessing lithium from geothermal brine. So, we can
13 clean Salton Sea, we can produce potable water, we can produce
14 lithium.

15 I just want to correct that, yes, it's not feasible to
16 produce from ocean, just seas right now. But since I'm going to
17 have concentrated brine as a byproduct, then we can do that very
18 economically. And I would like to con contact Alex, and can I
19 have emails of the panelists and everyone, so I can maybe send
20 some material and hopefully, I will have a chance to speak, to
21 make presentation in some of these meetings.

22 It's very, very important. It should be really ... see
23 that because bypassing it, it would be big mistake.

24 MS. DE JONG: Thank you, Nikola. And to address your
25 questions, I will follow up with you via email about getting in

1 contact with the presenters.

2 MR. LAKIC: Thank you very much.

3 MS. DE JONG: Yeah, thank you. Okay. Let me check ... I
4 think I just want to check if Hector was able to unmute?

5 Okay. That looks like it all ... yes, that looks like
6 all of the comments.

7 I'm sorry. Okay. So, it looks like Hector is trying
8 one more time. Let me give it another chance; Hector, are you
9 able to unmute?

10 MR. HECTOR: Yes, I just had a quick question; is
11 there a date set yet for the workforce development workshop?

12 MS. DE JONG: Yeah, thank you for asking. So, this
13 time we're kind of planning three or four meetings in advance.
14 It is not currently scheduled, but it will be for some time in
15 the near future.

16 MR. HECTOR: Thank you.

17 MS. DE JONG: Alright, thank you Chair Paz, that is all
18 of the public comments.

19 CHAIR PAZ: Thank you everyone. Our next meeting is
20 August meeting the 26, and the meeting is now adjourned.

21 ATTENDEE: Thank you.

22 ATTENDEE: Thanks, Paz.

23 ATTENDEE: Thanks, Rod.

24 VOICEOVER: Recording stopped.


25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 5th day of September, 2021.



ELISE HICKS, IAPRT CERT**2176

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 5th day of September, 2021.



Jill Jacoby
Certified Transcriber
AAERT No. CERT**D-633