

DOCKETED

Docket Number:	21-IEPR-05
Project Title:	Natural Gas Outlook and Assessments
TN #:	239969
Document Title:	Transcript - 7-28-21 for Commissioner Workshop on Current and Emerging Technologies - Session 2
Description:	Session 2 IEPR Commissioner Workshop on Hydrogen to Support California's Clean Energy Transition - Current and Emerging Technologies
Filer:	Raquel Kravitz
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	10/4/2021 3:08:41 PM
Docketed Date:	10/4/2021

BEFORE THE
CALIFORNIA ENERGY COMMISSION

In the matter of,)
) Docket No. 21-IEPR-05
)
2021 Integrated Energy Policy) Re: Hydrogen in
Report (2021 IEPR)) California's Clean

) Energy Transition

IEPR COMMISSIONER WORKSHOP ON
CURRENT AND EMERGING TECHNOLOGIES

REMOTE ACCESS ONLY

FRIDAY, JULY 28, 2021

2:00 P.M.

Session 2: Current and Emerging Technologies

Reported By:
Elise Hicks

APPEARANCES

Workshop Leadership

J. Andrew McAllister, 2021 IEPR Lead Commissioner

Karen Douglas, Commissioner

Patty Monahan, Commissioner

Siva Gunda, Commissioner

Matt Baker, Deputy Secretary for Energy, CNRA

Darcie Houck, Commissioner, California Public Utilities
Commission

Staff Present

Heather Raitt

Denise Costa

Stephanie Bailey

Raquel Kravitz

Kristy Chew

Gabriel Taylor

Bryan Early

Ken Rider

Roberta Rothschild

Theju Prasad

Le-Quyen Nguyen

Ellie Long

Raj Singh

Giana Villegas

David Gay

APPEARANCES (CONT.)

Public Advisor's Office

Noemi Gallardo

RoseMary Avalos

Dorothy Murimi

Panelists

Moderator: Jack Brouwer, UC Irvine

Stephen Szymanski, Nel Hydrogen

Venkat Venkataraman, Bloom Energy

Eric Guter, Air Products

Laura Nelson, Green Hydrogen Coalition

Mike Petouhoff, California Energy Commission

David, Erne, California Energy Commission

Public Speakers

V John White

Bruce Applegate

Karin Sung

Yuri Freedman

Issam Najm

William Zobel

David Park

Mikhael Skvarla

INDEX

	Page
Introduction - Heather Raitt	5
Opening Remarks	
J. Andrew McAllister, 2021 IEPR Lead Commissioner, CEC	6
Karen Douglas, Commissioner, CEC	
Patty Monahan, Commissioner, CEC	
Siva Gunda, Commissioner, CEC	
Darcie Houck, Commissioner, California Public Utilities Commission	8
Matt Baker, Deputy Secretary for Energy, CNRA	8
2. Panel: Current and Emerging Technologies	
Moderator: Jack Brouwer, UC Irvine	9
A. Stephen Szymanski, Nel Hydrogen	16
B. Venkat Venkataraman, Bloom Energy	27
C. Eric Guter, Air Products	36
D. Laura Nelson, Green Hydrogen Coalition	45
Discussion	61
Zoom Q&A - Moderated by David Erne, CEC	84
3. Electric Program Investment Charge Solicitation	
Mike Petouhoff, CEC	90
Public Comments	92
Adjournment	111
Reporter's Certificate	112
Transcriber's Certificate	113

P R O C E E D I N G S

1
2 JULY 28, 2021 2:00 P.M.

3 MS. RAITT: All right. Well, good afternoon
4 everybody, welcome to the second session of this 2021
5 IEPR Commissioner Workshop on Hydrogen to Support
6 California's Clean Energy Transition.

7 I'm Heather Raitt, the Program Manager for the
8 Integrated Energy Policy Report, or the IEPR for short.

9 This workshop is being held remotely consistent
10 with Executive Order N-08-21 to continue to help
11 California respond to, recover from, and mitigate the
12 impacts of the COVID-19 pandemic. The public can
13 participate in the workshop consistent with the
14 direction in the Executive Order.

15 This is the afternoon and final session of this
16 workshop. To follow along with today's discussions, the
17 schedule and presentations are available on the CEC's
18 website.

19 All IEPR workshops are recorded and a recording
20 will be linked to the Energy Commission's workshop --
21 excuse me, website -- shortly following the workshop.
22 And a written transcript will be available in about a
23 month.

24 Attendees have the opportunity to participate
25 today by asking questions or up-voting questions

1 submitted by others through Zoom, using the Q&A feature.
2 Or, you may make comments during the public comment
3 period at the end of the afternoon. Or, you may submit
4 written comments by following the instructions in the
5 meeting notice. And written comments are due on August
6 11th.

7 At this time, I'll pass it over to Commissioner
8 Andrew McAllister, the Commissioner for the 2021 IEPR.
9 Thank you.

10 COMMISSIONER MCALLISTER: Thank you, Heather.
11 And really, just nicely done and congratulations to you
12 and the whole staff on a great session this morning. We
13 got a lot of really good themes beginning to be
14 developed by our various speakers and there's a lot of
15 the substance to work with now as we elaborate the IEPR
16 and, you know, build on those interactions going
17 forward. So, that was great.

18 This afternoon we're going to focus -- this
19 morning we focused on kind of the industry structure,
20 looking at some pilots, some policy-related research
21 that's happening, items looking at the hydrogen economy
22 relatively broadly I'd say, and starting to think about
23 some of those planning issues.

24 We're going to focus on technologies this
25 afternoon. And so, wanted to just say how excited I am

1 about this afternoon session as well. There's just so
2 much potential here. And we're walking forward, trying
3 to sort of knit this tapestry together across the
4 various sectors of our energy economy from power sector,
5 storage, transportation, critically, and industrial,
6 thermal and even some retail applications potentially.

7 And then, also just linking it as Matthew, you
8 said this morning, to some of the bio resources, the
9 molecule, really, aspect of it in terms of the
10 transition of the gas system.

11 And so I think, really, this is a tapestry that
12 really covers a lot of the state, so potentially at
13 least, and that's kind of the challenge we have before
14 us is figuring out what that can look like and how we
15 can optimize investment in the various pieces, with the
16 most potential.

17 So, with that I will -- I'm Andrew McAllister,
18 the Lead Commissioner on this year's Integrated Energy
19 Policy Report. And I'm joined on the dais this
20 afternoon, so far, with Commissioner Darcie Houck from
21 the California Public Utilities Commission, and Matt
22 Baker from the California Resources Agency. So, thank
23 you both for being here.

24 We may be joined by Commissioner Douglas, who's
25 the Lead Commissioner on siting issues and much of the

1 large infrastructure, and whose staff really helped
2 organized this day today.

3 And, let's see, I think that's about it. I'm
4 not sure if we're expecting anyone else, any other
5 Commissioners on the dais.

6 But with that I will pass the microphone to
7 Commissioner Houck from the CPUC. Thanks for being with
8 us this afternoon, as well.

9 COMMISSIONER HOUCK: Thank you, Commissioner
10 McAllister. And I concur with all of your comments
11 about this morning's workshop. And again, thank
12 everyone that was involved with putting this together,
13 the panelists, CEC staff, and appreciate being able to
14 participate and hear from everyone today, and look
15 forward to this afternoon's session. And I will turn it
16 over to Deputy Secretary Baker.

17 DEPUTY SECRETARY BAKER: Thank you. I just want
18 to echo what everyone else has said. It was a great
19 morning. I'm looking forward to the afternoon. And
20 let's get started, I guess.

21 Back to you, Commissioner McAllister.

22 COMMISSIONER MCALLISTER: Thanks for being with
23 us, Deputy Secretary Baker, really appreciate it. And
24 for your leadership generally on this and related
25 issues, really appreciate that.

1 So, with that I think I'll pass the mic back to
2 Heather to get us kicked off on this afternoon's
3 session.

4 MS. RAITT: Great, thanks. So, we'll start the
5 panel this afternoon on Current and Emerging
6 Technologies. And it is being moderated by Jack
7 Brouwer. Jack Brouwer is a Professor of Mechanical and
8 Aerospace Engineering at the University of California,
9 Irvine. He is also the Director of the National Fuel
10 Cell Research Center and Advanced Power and Energy
11 Program at UC Irvine.

12 So, go ahead Jack. Thanks for being here.

13 MR. BROUWER: Thank you so much Commissioner
14 McAllister and other distinguished leaders here in the
15 State of California for taking on this important subject
16 of how hydrogen can support California's clean energy
17 transition.

18 I'm happy to be here today, both to moderate the
19 session and to provide a few comments to introduce this
20 topic. Because I think hydrogen -- well, I don't think,
21 I know hydrogen is essential for us to achieve our zero
22 emissions goals.

23 The next slide, please. And while I usually
24 have nice animations, I was told I could only do this by
25 PDF to show some of the results that we have obtained

1 through a couple of decades of research in this topic
2 area.

3 And what you see in this particular slide is the
4 fact that once we achieve very high renewable
5 percentage, this is a 100 percent renewable grid in the
6 State of California. And it's a wind dominant case in
7 which you can see certain 15-minute periods of the year
8 in which there are deficits. Those are the red data.
9 And certain periods of the year that we have surpluses
10 of the wind and solar power. And all we need to do is
11 move it around in society, store it for periods of time
12 to make a 100 percent grid, renewable grid work.

13 And the fact of the matter is we need lots of
14 batteries to do this. We also need our pumped hydro
15 system to do this. But even if you add all the
16 batteries that we could possibly put, and all the pumped
17 hydro, and even more pumped hydro resources in the state
18 none of them are sufficient without also transforming
19 the gas system to enable massive energy storage in the
20 underground storage facilities that we currently use
21 today for this purpose.

22 Underground storage facilities of gaseous fuels
23 are what enable us to adopt renewable electricity in
24 high magnitudes. Okay. This is the only known solution
25 that can get us this huge a magnitude of energy storage.

1 And that's what I'm showing in this orange box
2 that shows hydrogen storage. If we try to do it with
3 just battery, solar, and wind, we're never going to get
4 there. If we try to do it with just battery, solar,
5 wind and pumped hydro, we still don't get there. You
6 need the gas system to do this.

7 The next slide, please. And our research
8 suggests that an immediate adoption of a renewable
9 hydrogen injection standard is really quite important
10 for this. The gas system not only has the massive
11 storage capabilities that are going to be required for
12 long duration and seasonal storage, but it also has
13 reliable transmission and distribution.

14 As a matter fact, the GTI study that I'm
15 referencing here, in 2018, showed more than five 9s
16 availability of the gas system throughout the United
17 States.

18 And why should we adopt a renewable hydrogen
19 injection standard immediately? For two main reasons.
20 WE need to begin the transformation of that gas system
21 to a zero emission system and you can't begin it without
22 at least trying some hydrogen injection.

23 And secondly, it will serve as an immediate off
24 take for the additional investment in solar and wind
25 resources in this state, which are going to become more

1 and more difficult to make economically viable unless
2 there is a very large ability to accept renewable power
3 when it's not wanted on the grid.

4 And this is why even just a 5 percent hydrogen
5 injection into the natural gas system is desirable today
6 because it would offer this additional off take and
7 additional investment value in sun and wind power.

8 The next slide, please. And we looked at this
9 gas system transformation also to 100 percent renewable
10 hydrogen. And this is an example of just closing off
11 the valves at the California/Arizona border, and putting
12 solar into that square area that you see there. Now,
13 it's a pretty big square area. It's 20 miles by 20
14 miles.

15 But just transforming the gas system without
16 adding any additional transmission and distribution, and
17 putting solar in that one space that you see here, the
18 next slide please, would engender a 40 point increase in
19 the renewable content in the State of California.

20 What do I mean by that? We don't have to invest
21 in transmission and distribution. We can use the
22 existing pipelines. Of course, you have to invest in
23 their transformation to handle pure hydrogen, but they
24 could handle the pressure dynamics as I'm showing in
25 this chart. And the resources on the downstream for

1 both storage and for reconversion to electricity are all
2 accounted for adding 40 points of additional renewable
3 content.

4 So, we can go from about 40 percent, which we
5 are at today, to 80 percent with this one project. And
6 it's because of this massive resources that the gas
7 system contains that we're enabled to do something like
8 this.

9 The next slide, please. And this resilience has
10 been proven by underground delivery of the gas system
11 and fuel cell systems, which also have zero criteria
12 pollutant emissions, and which also can operate on
13 renewable hydrogen in the end to enable both greenhouse
14 gas emissions reductions and reliable zero emissions,
15 including criteria pollutant emissions, power generation
16 at the end points.

17 The next slide, please. And I'm not the only
18 one that's saying this. I was fortunate to work with a
19 whole bunch of really awesome scientists and engineers
20 led by my colleague, Steve Davis, who you see as the
21 lead author here, that show us that unless you try to
22 include something like hydrogen and its features, and
23 its derivatives, there's no way that you can decarbonize
24 the entirety of society.

25 As you can see, things like ammonia and

1 fertilizer production, cement and steel plants. You can
2 see aviation and long duration, long haul trucking, and
3 these kinds of things that need hydrogen and its
4 derivatives to make them zero emissions.

5 The next slide, please. And so, anything that
6 requires, on the transportation side, rapid fueling, or
7 long range, or heavy payload will prefer hydrogen to,
8 and engender zero emissions, to batteries, okay.

9 Now, we need lots of battery vehicles, too.
10 Lots of battery transport. Lots of battery boats and
11 planes. But when it gets to a really big payload,
12 that's when hydrogen is preferred as a zero emission
13 vector.

14 Next, please. And there are some industries
15 that will require heat that only a fuel can deliver. Or
16 a feedstock, like the hydrogen itself is the molecule.
17 Or, even a reducing gas, okay, which hydrogen can serve
18 as, that won't be made zero emissions without something
19 like hydrogen and its derivatives. The steel, cement,
20 plastics, pharmaceuticals, computer chip manufacturing,
21 ammonia and fertilizer production, these kinds of things
22 need a hydrogen input in order to make them zero
23 emissions.

24 Next, please. And I'm not able to tell you all
25 of the features of hydrogen, but I was fortunate to work

1 with an awesome graduate student and post-doctoral
2 research to write this paper that's called Hydrogen is
3 Essential for Sustainability. And it offers 11
4 features, I've talked only about four or five of them in
5 this presentation, that I think will be required for
6 zero carbon and pollutant emissions in our sustainable
7 future.

8 So, I encourage you to look this up, Hydrogen is
9 Essential for Sustainability, published in a Journal of
10 Current Opinion on Electrochemistry.

11 Next, please. So, I'm happy to introduce the
12 next speaker, a person that can well speak to
13 commercially available technology today in proton
14 exchange membrane and alkaline electrolysis.

15 This next speaker is Steve Szymanski. That's
16 who I think we have on next. Oh, shoot, the backup
17 slides are here. Go to Steve's presentation next,
18 that's the only -- if we need to go to the backup slides
19 as the dais has questions, I'd be happy to go to that.
20 But Heather, can you go to the next presenter's slides,
21 please?

22 MS. RAITT: Yeah, we'll get there. Here it
23 comes, thanks.

24 MR. BROUWER: So, I'm happy to introduce the
25 first speaker, Steve Szymanski from Nel Hydrogen.

1 MR. SZYMANSKI: Thank you, Jack.

2 MS. RAITT: Thanks for your patience as we're
3 having a little trouble.

4 (Audio discussion)

5 MR. BROUWER: I could also just say next slide
6 20 more times and get rid of those backups. That looks
7 good. Thank you.

8 MR. SZYMANSKI: All right, great. Thank you.
9 Thank you, Jack and I appreciate the opportunity to, you
10 know, provide some comments and some material for this
11 workshop.

12 The next slide, please. Just very quickly, I'll
13 just say that, you know, Nel Hydrogen, for folks who are
14 not familiar with us, we are -- you know, we like to
15 consider a pure play hydrogen company that, you know,
16 provides both electrolyzer solutions as Jack mentioned,
17 as well as hydrogen refueling equipment solutions.

18 I'm not going to spend a lot of time talking
19 about the hydrogen fueling equipment solutions, other
20 than to say that we do have a subsidiary in California
21 that provides, you know, both light-duty and heavy-duty
22 fueling stations for fuel cell vehicles.

23 But I represent the electrolyzer side of our
24 business and so I'm going to be focusing my remarks on
25 electrolyzer technology.

1 The next slide, please. Again, just kind of a
2 snapshot of who we are. We're a publicly traded company
3 on the Oslo Stock Exchange. Our corporate headquarters
4 are in Norway. But I sit at the head of the
5 electrolyzer business unit here in Connecticut, where I
6 have been for more than 20 years now.

7 Our other major operating centers, which I have
8 another slide on, are in Norway and Denmark. And I'll
9 talk more about the Norway manufacturing operation in
10 more detail.

11 The next slide, please. So, just kind of, you
12 know, just where we kind of see ourselves in the green
13 hydrogen value chain, you know, if you look kind of
14 electricity production on the front end and some, you
15 know, end use cases such as mobility, and Power-to-X on
16 the back end, you know, we kind of sit in the production
17 space, the production of green hydrogen through our
18 electrolyzer technology. And then, as I mentioned, we
19 do have kind of hydrogen processing technology through
20 our fueling division.

21 And so, we think we play an important role in
22 the propagation of green hydrogen in the market.

23 The next slide, please. You know, again to just
24 kind of summarize, you know, we kind of have two
25 separate divisions. Our Alkaline and PEM Electrolyzer

1 Division that I work for. I'm not going to get into a
2 lot of detail in the differences between alkaline and
3 PEM electrolyzers, you know, other than to say that they
4 have kind of their own kind of advantages, you know, and
5 kind of operational characteristics that lend themselves
6 to kind of, you know, one solution set versus another.

7 And so, you know, the good thing is that we can
8 -- we offer kind of a range of products in both
9 technology sectors.

10 The next slide, please. Just again, to kind of
11 -- what I want to talk about with this slide here is
12 kind of capacity. You know, a lot of people ask us kind
13 of what is the capacity of electrolyzer manufacturers
14 today and kind of where is it going? You know, here at
15 our PEM electrolyzer plant in Connecticut, you know,
16 right now through kind of a one shift operation we can
17 do, you know, a little better than 50 megawatts per year
18 of stack production. And so, you know, nominally I say
19 that, you know, with a two shift operation, you know, we
20 could do 100 megawatts per year at this facility with no
21 upgrades to our facility system.

22 Our alkaline electrolyzer factor is in the
23 middle of an expansion this year. By the end of 2021
24 we'll have a production capacity of about 500 megawatts
25 per year of electrodes at this facility in Heroya. And

1 we will -- we have plans for incrementally increasing
2 that in 500-megawatt-per-year increments to about, you
3 know, 2 gigawatts per year capacity at that single
4 facility. So, we'll talk a little bit more about that
5 expansion activity.

6 And then, in Herning, Denmark, where we do our
7 HRS systems, we can do about 300 fueling systems per
8 year in that facility.

9 The next slide, please. Okay, well next I'm
10 going to get into kind of the hydrogen opportunity, you
11 know, why we think there's just a tremendous opportunity
12 for green hydrogen, as Dr. Brouwer just discussed.

13 The next slide, please. So, you know, we have
14 been serving kind of the existing applications in use
15 cases for hydrogen for, you know, decades now. And, you
16 know, clustered on the left there is kind of the
17 industrial application, you know, kind of portfolio.
18 And, you know, I like to say we've kept the lights on
19 here at our facility here in Connecticut for, you know,
20 more than two decades selling into these industrial
21 applications.

22 But really, the opportunity for green hydrogen
23 is really focused on, you know, a couple of emerging
24 sectors. You know, kind of Power-to-X, you know,
25 converting renewable energy into hydrogen for a variety

1 of use cases. And then mobility. I mean we think that
2 there's some unique aspects to the mobility sector that,
3 you know, we can kind of differentiate it from some of
4 the other green hydrogen use cases. So, this is really
5 where we see the opportunities growing because the areas
6 of application are growing at a very large scale.

7 The next slide, please. So, you know, in terms
8 of the existing market for hydrogen, you know, this kind
9 of pie chart just kind of says, look, you know, we're at
10 about 70 million tons per year of hydrogen in a handful
11 of industrial kind of uses today. And, you know, this
12 pie chart is colored gray because, you know, frankly
13 it's all gray hydrogen. Less than 1 percent of the
14 hydrogen being used to satisfy these markets is coming
15 from electrolysis. So, this all gray hydrogen coming
16 primarily from natural gas here in the U.S.

17 The next slide, please. So, when we look at
18 kind of the hydrogen markets, you know, we are
19 suggesting that they're going to grow by, you know, more
20 than a factor of 8 in the next 30 years. And a lot of
21 this is going to be new uses for hydrogen. Not just,
22 you know, the existing feedstock is going to grow as
23 well, but really a lot of this 8X growth is going to be
24 coming from new uses for hydrogen. You know, many of
25 them kind of energy related uses for hydrogen. And, you

1 know, this is really where we see a lot of the
2 excitement around the opportunities for green hydrogen.

3 The next slide, please. So, you know, one of
4 the things that's really making green hydrogen a real
5 opportunity, a real commercial opportunity is the cost
6 of wind and solar dropping so significantly. And green
7 hydrogen, the cost of green hydrogen is being driven by
8 that extremely low LCOE for wind and solar because, you
9 know, 70 to 80 percent of the cost of making green
10 hydrogen is the electricity feedstock.

11 So, as we get down to some of these low, you
12 know, kind of auction prices for wind and solar that is
13 really helping to drive the opportunity for producing
14 low cost, you know, competitive green hydrogen for these
15 new use cases.

16 The next slide, please. So, we announced kind
17 of a cost target or a, you know, kind of a production
18 target for green hydrogen of \$1.50 per kilogram by 2025.
19 And you can read some of the fine print there in terms
20 of what's baked into that.

21 But this is, you know, quite a bit earlier than
22 I think a lot of people have been assuming or
23 projecting. And I'm going to get into it a little bit
24 more as to why we think we can get there.

25 The next slide, please. So, when we kind of

1 look at, you know, one of the things that's really
2 helping to drive cost reduction is the scale. I mean as
3 we see these kind of grid scale applications for green
4 hydrogen emerging, you know, we are looking at
5 capturing, you know, economies of scale through, you
6 know, simply kind of scaling up our core technology.
7 And, you know, I'm going to get into kind of a little
8 bit of a breakdown on this. But, you know,
9 fundamentally we've got an alkaline electrolyzer stack.
10 It's a one ton per day, one metric ton per day stack
11 that's rated at about 2.2 megawatts of input power. And
12 we use that as the repeating unit for kind of
13 aggregating larger plants.

14 And, you know, I can tell you that, you know,
15 100-megawatt plants are becoming kind of commonplace in
16 the pipeline of opportunities we're looking at. And so,
17 you know, we have very detailed designs for these larger
18 plants.

19 The next slide, please. So, you know, the
20 capacity expansion at Heroya is really going to make --
21 it's a real game changer in terms of the production
22 costs of hydrogen. We are -- you know, we're building a
23 plant that is using, you know, advanced manufacturing
24 techniques, a lot of automation and robotics, and things
25 like that. And, you know, this is the kind of thing

1 that really offers a significant cost reduction
2 opportunity when you start taking advantage of, you
3 know, those kinds of techniques.

4 The next slide, please. So, you know, our first
5 production line, as I mentioned, is being installed
6 right now. We're actually testing kind of individual,
7 you know, aspects of the production line. And this is
8 going to be, you know, replicated in increments in this
9 factory to go from that 500 megawatt per year capacity
10 to the 2 gigawatt capacity that's capable at that
11 facility.

12 The next slide, please. So, you know, when we
13 talk about kind of the electrode production cost, this
14 is the variable cost including direct labor, compared to
15 where we are -- where we were last year in terms of
16 production cost, when we get this first production line
17 at Heroya up and fully validated, you know, we're going
18 to be taking that cost down by about half. So, we're
19 going to cut that production cost in about half.

20 And furthermore, when we get the second line on,
21 we believe we can cut it in half again. So, you know,
22 this is really a really big deal in terms of our ability
23 to hit that \$1.50 per kilogram target that we're
24 advertising.

25 The next slide, please. And, you know, in

1 addition we are working on a number of enhancements to
2 design that will enable us to realize an energy
3 consumption reduction by about, you know, 5 to 10
4 percent. And that doesn't sound quite as dramatic as
5 some of the CAPEX reductions, but remember that, you
6 know, the biggest cost contributor to the production of
7 hydrogen through electrolysis is the cost of the
8 feedstock. So, anything you can do to take out a
9 kilowatt hour to make a kilogram of hydrogen is a direct
10 cost reduction opportunity.

11 The next slide, please. So, just a couple quick
12 visuals. Again, we are taking, you know, historical
13 experience with large plants. You know, this picture on
14 the left is nominally about a 135 megawatt plant from
15 the early 20th Century, at a facility in Norway. And
16 we're taking -- we're directly translating our
17 experience with plants like into kind of modern variants
18 of these large plants.

19 The next slide, please. And also, you know, one
20 of the things that we're doing as well is we're looking
21 at scaled up stack design. You know, today a 20
22 megawatt plant, you know, might require 8 cell stacks.
23 A future 20 megawatt plant using stacks that are scaled
24 up by roughly a factor of 4 would only require 2 stacks.
25 So, this is an important way that you cut cost as well

1 by consolidating stacks, as well.

2 The next slide, please. So, just a couple more
3 slides. The next slide. You know, when we talk about
4 how are we going to hit this \$1.50 target based on a
5 kind of a TCO analysis, you know, the Heroya expansion
6 is going to have about a 40 percent cost reduction in
7 the total system cost.

8 But there's this whole EPC piece that really is
9 a significant contributor. And so, one of the things
10 we're doing is standardizing designs. You know, design
11 once, build often is kind of the way -- is kind of the
12 mantra for this.

13 And when you come up with reproducible
14 standardized designs, you really can take a significant
15 part of that EPC cost out because, frankly, these really
16 are like design build projects. When you're talking
17 about building a big plant like this, that's the way you
18 need to treat it. And so, we're spending a lot of time
19 focusing on that, on that EPC reduction.

20 The next slide, please. So again, you know,
21 just again kind of another rendering. This is a 100
22 megawatt plant. You know, again, we've got some
23 dimensions there.

24 Just I know my time is up. I think I just have
25 one or two more slides I just wanted to touch on, if

1 that's okay.

2 The next slide, please. We can skip over this
3 one. This is kind of a containerized PEM. This is a
4 larger 20 megawatt plant design we're delivering to
5 Spain.

6 I just want to touch on these last two slides
7 here because these are kind of the important ones. In
8 terms of CAPEX, you know, alkaline is starting at a
9 lower starting parts based on today's cost. But PEM has
10 a steeper curve and we see both costs on a \$1.00 per
11 kilowatt basis converging over the next couple of
12 decades.

13 And then the last slide, please. And, you know,
14 this is kind of where I just want to conclude, you know,
15 where when we look at kind of renewable hydrogen and how
16 it compares to blue hydrogen which is, you know,
17 hydrogen from SMR with carbon capture, and gray hydrogen
18 which is kind of, you know, today's kind of primary
19 hydrogen source, you know we really believe that we can
20 be cost competitive even as soon as the end of the
21 decade with both blue and gray hydrogen. So, this is
22 something we feel strongly about and we believe we have
23 the pathway to getting there.

24 So, thank you for allowing me to speak and I
25 apologize for running over.

1 MR. BROUWER: Thank you very much, Steve, and
2 appreciate that perspective.

3 Next, we have Dr. Venkat Venkataraman from Bloom
4 Energy.

5 MR. VENKATARAMAN: Okay, can you hear me okay?
6 I'm not able to start my video, so somebody help me out.

7 MR. BROUWER: You were earlier so, hopefully, we
8 can --

9 MR. VENKATARAMAN: Yeah, it says the host
10 doesn't allow me to do it, that it should be done by
11 somebody else.

12 All right, good. Thank you. Can you see me
13 okay?

14 All right, thanks very much for giving this
15 opportunity. Thanks Commissioner, as well as David to
16 invite me. And Jack, thanks for the moderation.

17 So, the way I'm going to present it is how does
18 Bloom think about the decarbonization, particularly we
19 talk about hydrogen. I can't beat what Jack said in
20 terms of the need for hydrogen in the decarbonization
21 world.

22 If we go to the next slide? I'm going to use
23 this picture that is given by US DoE. It's a pretty apt
24 way of looking at the hydrogen going from the source to
25 the use. Just bear in mind the hydrogen is not a

1 molecule that you get out of it, even though I hear
2 there's something called white hydrogen which is -- can
3 be, but in general you do need a source, which is the
4 energy source to produce hydrogen.

5 And then, on the end of it, on the other side of
6 it to decarbonization hydrogen can be used for power
7 generation, but it has got a whole range of uses as Jack
8 pointed out. Including transportation, mobility,
9 injecting into the pipeline are making into distilled
10 chemicals. So, this is the whole story.

11 Now, the very fitting Bloom question is actually
12 fits both sides of it. We can be a hydrogen source
13 using Bloom electrolyzer. On the downstream of it, it
14 can also be using the Bloom systems for using the
15 hydrogen to produce power. So, we fit in both
16 categories.

17 The vision right now we have is we want to
18 introduce the source part of electrolyzer, Bloom
19 electrolyzer this year. And we have been running on the
20 fuel cell mode producing power.

21 In addition to that, there are other
22 applications that we do. We have developed a use basis.

23 Let's go to the next slide. I just want to
24 quickly go through the build up of our systems. I think
25 many of you might know about the solid blocks and fuels

1 as part of it. The secret sauce is the electrolyte,
2 which when you heat it up to 800 degrees C it has got a
3 very unique property of transporting oxygen ion through
4 the electrolyzer.

5 In the process of doing it, it actually releases
6 electrons, so this is a direct conversion of chemical
7 energy into electric energy.

8 So, the way we build our systems is we go
9 through module by module. So, we start with the fuel
10 cell and then we put in the stack, and then the stack
11 goes into columns, then they go into server, and server
12 the power plant. So, this is how we do it.

13 The advantage is several fold. Obviously, the
14 manufacturing technologies can be cloned and you can
15 easily go from 300 kilowatt to megawatt in this
16 production. Fuel cell (indiscernible) -- are
17 demonstrated.

18 Secondly, in terms of reliability part of it,
19 when you go in to apply the units, because of the
20 modularity (indiscernible) --

21 So, the reaction that we are showing here is
22 actually a methane molecule, which is natural gas on the
23 -- as the input. We have modified it to run it on
24 hydrogen, too. So, you can run it on natural gas, you
25 can run it on biogas, you can run it on hydrogen. And

1 all the combinations are possible with this system
2 today.

3 So, if we go to the next slide. The overall
4 solution that we are going -- are looking at is the
5 combination of what a system can do and also combining
6 with hydrogen on the right-hand side.

7 So, one important feature of the Bloom system is
8 it can build resilient microgrids. It can be coexistent
9 with different distributed energy resources in the same
10 place. And it can off-grid or it can be parallel with
11 the grid. There are many flexibilities that exist with
12 the system. That gives you the microgrid solution which
13 is for high availability --

14 Another side of it is, obviously,
15 (indiscernible) hydrogen. That is we can go produce
16 hydrogen (indiscernible) -- use hydrogen for power
17 production.

18 In addition to that, some of the initiatives we
19 have are for carbon capture. Well, I will kind of touch
20 upon that a little bit. And also, since we can run on
21 biogas, either it can be run on directed biogas, which
22 is nothing but the methane molecule, or it can be onsite
23 power generation using biogas where we call it some
24 (indiscernible) -- so, we kind of cover the whole
25 decarbonization solution.

1 If you go to the next slide, so this is one
2 important aspect of it which allows us to go from both
3 hydrogen production as well as power production. So,
4 the solid oxide fuel cell can be reversed to become an
5 electrolyzer.

6 So, on one hand you can put the hydrogen as a
7 feedstock and produce electricity in the fuel cell or
8 you can practically reverse it so if you apply the
9 potential of a cell, you can break the water out of
10 steam molecule to produce hydrogen. So, this
11 reversibility is important in many ways.

12 Number one, we introduced the electrolyzer only
13 this year, but the basic technology of building the
14 stack existed for solid oxygen fuel cells, so we can use
15 exactly the same technology. We have to Optimize--
16 electrodes, but I think that is a lot easier part. So,
17 from a production perspective, we are already ready --

18 The second one is that in terms of modularity
19 and scale up we can easily do it once we have proven the
20 technology to do the electrolyzer.

21 The third part of it, because of thermodynamics
22 -- it helps a lot. I think we can build a very highly
23 efficient electrolyzer. So, this helps in a big way in
24 terms of decarbonization.

25 If you go to the next slide. This is kind of a

1 vision we have today. So, I'll go through carefully.
2 So, first and foremost there are different colors of
3 hydrogen. It really can be color agnostic at the end of
4 it. We have produced hydrogen for decarbonization
5 perspective and reduced the greenhouse gas emissions.
6 So, some people get emotional about the color of
7 hydrogen, but in general it's actually can be called as
8 green.

9 On the left-hand side is our current fuel cell,
10 right. You got your fossil fuel, natural gas, and then
11 that produces power. We are working on a carbon
12 capture, so which can be added as a module to the
13 existing fuel cell. That you see the carbon capture, in
14 doing that we can produce power, also. You can produce
15 hydrogen also as a commodity. So, that's a very unique
16 thing that we are trying to do now.

17 The middle one is nuclear. Actually, we can use
18 the energy that is curtailed today, the nuclear energy,
19 and produce hydrogen. So, we have significant
20 opportunity here because a lot of the nuclear power
21 plants are not running full capacity, primarily because
22 of the fact of insertion of renewables, and they have to
23 slow down. This helps the nuclear industry. We want to
24 make them produce hydrogen as a commodity and create
25 revenue.

1 And you go to the renewable side of it, I talked
2 about the biogas side. The biogas side, also you can do
3 the carbon capture and produce hydrogen. We kind of
4 call it the gold hydrogen because it does come with the
5 carbon capture, just like blue, but because we are
6 starting with the carbon neutrality you can go to
7 negative carbon. So, we call it the gold hydrogen.

8 And we can also use the electrolyzer with the
9 renewable energy to produce the so-called green
10 hydrogen. So, that can be used for power also.

11 One interesting thing is that if you onto the
12 transportation side, this is more on the stationary
13 side. On the transportation side, the nice thing is we
14 can produce electricity and that can be used for
15 charging. Or, the hydrogen that is produced, regardless
16 of the color, can be used in the vehicle for mobility
17 applications. So, that also gives you a big advantage.

18 In addition to that, we are actually working on
19 some of the marine application where you can put the
20 fuel cell in the ship. And tomorrow, we can actually do
21 the same way with hydrogen.

22 So, we actually want to expand both spectrum to
23 producing hydrogen and also using for power generation.
24 One other thing is we all realize, right, when you go
25 into producing hydrogen we definitely need to partner

1 with many people. Where we can do generation of
2 hydrogen, we can actually use that hydrogen for power
3 production, those are big. But in between there's a lot
4 of things that need to happen.

5 In terms of storing it, as Jack pointed out,
6 this can easily potentially be for batteries, for which
7 we need to have partners.

8 The inside of it also use, we need to have use
9 cases demonstrated. So, that's why we got
10 (indiscernible) for all the renewables. We signed a
11 deal with them to do the demonstration. We're working
12 with (indiscernible) for nuclear power plants. We are
13 working with SoCalGas for injection into the pipeline.
14 And last, we have a few opportunities for using the
15 hydrogen in percolator plants, and steel industry, too.
16 So, we are covering all of them as use cases.

17 From a production perspective we use
18 electrolyzers here. So, we're going to recognize it
19 with some use cases. And wrap up of the production will
20 be happening next year.

21 However, since we already have a factory
22 producing (indiscernible) fuel cell, as the technology
23 matures we can kind of switch between one another.

24 So, if you go to the next slide. This is an
25 interesting way of looking at power generation. So, we

1 actually do want to get away from fossil fuel. But the
2 recent study for U.S. Energy Information Administration
3 clearly shows that the natural gas may continue for a
4 longer period of time.

5 But if you want to go focus more on
6 decarbonization, this gives you a unique way. So, you
7 can go and take that same thing, natural gas, you can
8 produce blue hydrogen with carbon capture. So, the
9 technology is available.

10 We talked about the renewables and producing
11 green hydrogen. We also talked about the nuclear power
12 plants producing pink hydrogen, too.

13 In reality, I think what Bloom is looking at is
14 partner with each one of them to play a big role in
15 producing blue, green, pink or whatever the color of
16 hydrogen may be that reduces the carbon emission, as
17 well as creating the overall industry to get to zero
18 carbon.

19 So, if you go to the next one. So, this is
20 about more on the fuel cell side. As I said, natural
21 gas today we can do natural gas, biogas, and mix of
22 natural gas and hydrogen, as well as hydrogen. And so,
23 we have covered all the things today and in addition to
24 the carbon capture.

25 So, the vision for Bloom is be a player here.

1 And again, I want to repeat that we can't do everything
2 on our own. We do need to collaborate with the
3 different people to make the thing work, make the
4 hydrogen economy work in California. We are most ready
5 for that.

6 So, I'll stop here. Thank you.

7 MR. BROUWER: Thank you very much, Venkat.

8 And next we have Eric Guter from Air Liquide.

9 MR. GUTER: Hi. Thank you, Jack. And just a
10 correction --

11 MR. BROUWER: Just a correct, yes, of course.
12 Eric, you're not from Air Liquide. That's like your
13 main competitor. That's the worst mistake I could make.

14 MR. GUTER: Jack, I'm going to come visit you
15 very soon.

16 MR. BROUWER: Air Products.

17 (Laughter)

18 MR. GUTER: Hello and good afternoon.

19 MR. BROUWER: Sorry.

20 MR. GUTER: It's my pleasure to be here and I
21 would like to thank California Energy Commission for the
22 opportunity to speak on behalf of Air Products.

23 This is certainly an exciting time and I look
24 forward to sharing some information about how hydrogen
25 can play a role in California's energy future.

1 The next slide, please. Air Products, by way of
2 background, is the only US-based gas company and is
3 headquartered in Allentown, Pennsylvania. We've been in
4 hydrogen production for over 60 of our 80-year history
5 and have been involved in hydrogen for mobility
6 applications for about the last 30 years.

7 We are organized around three major growth
8 platforms, gasification, carbon capture and storage, and
9 hydrogen for mobility, all of which support our
10 corporate sustainability goals on the journey to zero
11 emissions.

12 I lead our hydrogen for mobility business and
13 I'm based in Southern California where I've been for my
14 entire 26-year tenure with Air Products. And in
15 mobility we see renewable power and hydrogen as being
16 complementary sources of energy to facilitate
17 decarbonization of the transportation sector with power
18 being able to rapidly decarbonize light-duty
19 applications, and hydrogen being best utilized in heavy-
20 duty applications due to the vehicle weight and duty
21 cycle requirements of the vehicle.

22 However, there is no one-size-fits-all solution,
23 either, in terms of technology or energy source. It
24 will take an all-of-the-above strategy to meet our
25 ambitious goals.

1 The next slide, please. Air Products has over
2 110 hydrogen production facilities around the globe with
3 over 8,000 metric tons a day of capacity. We have also
4 announced over 1,600 tons per day of new capacity, which
5 will be coming on stream over the next five years to
6 meet industrial and mobility needs around the world.

7 We produce all types of hydrogen, from gray, to
8 blue, to green. I like to focus on carbon intensity
9 rather than colors because that's the end goal we're
10 trying to achieve, and each one of these has a distinct
11 role to play. But in that space, our Port Arthur
12 facility, which we commissioned in 2013 with
13 retrofitting it with carbon capture and sequestration,
14 that sequesters about a million tons of CO2 annually.

15 And we have also recently announced a \$1 billion
16 net zero hydrogen facility in Alberta, Canada, using
17 natural gas as the feedstock with carbon capture and
18 sequestration, and hydrogen turbines for power.

19 And also, our \$5 billion green hydrogen project
20 in Saudi Arabia, NEOM, which will produce 650 tons a day
21 of hydrogen from renewable wind and solar power.

22 In addition to this last investment, we have
23 also committed \$2 billion of downstream infrastructure
24 investment to facilitate the energy transition around
25 the globe, focused on geographies like California which

1 are leading the way.

2 As a world leader in hydrogen production, Air
3 Products has continually developed new and decarbonized
4 sources of hydrogen to meet the needs of the energy
5 transition and aggressively combat climate change.

6 The next slide, please. We distribute hydrogen
7 from our facilities using a wide range of technologies
8 dependent upon customer needs, starting with pipelines.
9 Highlight by our over 700-mile pipeline in the U.S. Gulf
10 Coast, and our over 30-mile pipeline in the L.A. Basin
11 supporting industrial and mobility customers today.

12 We also distribute hydrogen in liquid form,
13 which provides low cost, long range distribution and
14 storage for supply chain resiliency.

15 Hydrogen is also distributed as a bulk gas in
16 trailers and mobile fuelers for mobility demonstration
17 projects. We have invested significantly in this area
18 to assist customers in trialing hydrogen as a
19 transportation fuel, which replicates the experience and
20 performance of fossil-based fuels.

21 Additionally, with the announcement of our NEOM
22 project, we see ammonia as having a significant role to
23 play in the energy transition as it is moved around the
24 globe today in large quantities, primarily for
25 fertilizer production is an efficiency -- it is an

1 efficient energy carrier and can be used directly as a
2 replacement fuel in sectors like shipping which,
3 according to Bloomberg, will require more than 500
4 million metric tons of ammonia to decarbonize it,
5 representing over a twofold increase relative to current
6 production levels.

7 The next slide, please. Globally, there are
8 about 70 million metric tons of annual dedicated
9 hydrogen production, with about 10 million tons being
10 produced in the U.S. California shares about 10 percent
11 of that production.

12 Air Products has demonstrated experience in all
13 forms of hydrogen production with the predominant method
14 being steam methane reforming, which most commonly uses
15 natural gas because of its low cost, as the feedstock,
16 resulting in carbon dioxide emissions.

17 Fertilizer production and oil refining are the
18 main uses of this hydrogen which -- with approximately
19 an equal share of the market.

20 And although gray hydrogen production results in
21 CO2 emissions, it's important to note that switching to
22 gray hydrogen as a transportation fuel still results in
23 a 30 to 50 percent emissions reduction when compared to
24 traditional transportation fuels.

25 With this, speed is one of the most important

1 elements, perhaps the most important factor in the
2 energy transition.

3 Pairing carbon capture with steam methane
4 reforming, or auto thermal reforming, such as we've done
5 or will be doing in Alberta, Canada, can significantly
6 reduce CO2 emissions or even result in negative
7 emissions when paired with advanced feedstocks.

8 And finally, hydrogen sourced via electrolysis
9 using renewable power provides zero carbon hydrogen,
10 which is a promising energy source not only for
11 mobility, but also other hard-to-abate industrial
12 sectors like power production, steel, cement, and
13 fertilizer production.

14 Like California, we've tried to take a
15 technology agnostic approach to these production methods
16 and are focused on developing low and no carbon sources
17 to meet our collective ambitious emissions reduction
18 goals.

19 The next slide, please. The key to
20 decarbonization begins with policy and we appreciate and
21 applaud California's leadership in developing policies
22 that set the example globally. The right policy signals
23 incent the right behavior and California is well on its
24 way to meeting its emissions reductions targets.

25 We think the most effective policies are

1 technology agnostic in focusing on developing low and
2 zero emission energy sources and end-use markets. With
3 these two elements, rapid transition to carbon
4 neutrality can occur, but it requires careful planning
5 to ensure the reliability and resiliency of new, low/no
6 carbon supply chains.

7 Policy must also incent world scale investment
8 which is required to rapidly replace our dependency on
9 traditional fossil fuels production and distribution
10 infrastructure, which has been built up over decades.

11 At Air Products, we have taken the first steps
12 in building world scale investments in decarbonized
13 hydrogen, but much more work needs to be done to build
14 up low and zero emissions infrastructure in a timeline
15 to meet California's objectives.

16 The next slide, please. Through effective
17 policy, renewable power and hydrogen, as I mentioned
18 earlier, are complementary sources of energy supporting
19 energy transition. And mobility, although hydrogen can
20 be used in any application, is most useful in the heavy-
21 duty sector due to the weight of the battery and due to
22 stakeholder requirements of the vehicle.

23 Through California's policy OEMs, we're already
24 developing and testing new buses and heavy-duty hydrogen
25 fuel cell trucks to replace legacy fossil fuel vehicles.

1 Companies like Air Products are developing and support
2 the fueling infrastructure to facilitate this
3 transition.

4 In heavy industry, as I mentioned earlier,
5 hydrogen and ammonia have a significant role to play in
6 decarbonization as one of the only viable energy sources
7 identified to decarbonize these important sectors.

8 Hydrogen also has a role to play in long-term
9 energy storage to address the intermittency of renewable
10 power as we transition to zero emissions power grids.

11 The next slide, please. How do we accelerate
12 the energy transition? Building upon California's
13 leadership in leveraging lessons learned in the early
14 demonstration phase of hydrogen usage, we think it's
15 important to build upon our already strong policy.

16 As I mentioned earlier, transitioning to
17 hydrogen as a fuel source, even gray hydrogen results in
18 a 30 to 50 percent decrease in emissions. Therefore,
19 nothing is more important than making the transition and
20 doing so rapidly.

21 To facilitate this, we believe significant
22 policy should be focused on developing new sources of
23 hydrogen production and hydrogen hubs needed to meet the
24 anticipated demand in mobility in heavy industry, which
25 is on the order of a fourfold or more increase over

1 what's currently produced in California today.

2 For hydrogen, there is no one-size-fits-all
3 solution. We'll need gray, blue and green projects to
4 serve the growing market needs and to continue
5 decarbonizing the molecule as the market grows.

6 In addition to policy accelerating the
7 transition, we believe energy production should be the
8 primary focus for grants and incentives to ensure a
9 robust and decarbonized fuel source. Policy
10 enhancements can also include easier to access pore
11 space for CO2 sequestration which independent bodies,
12 like Lawrence Livermore National Labs, suggest must be a
13 part of California's energy transition strategy.

14 Continued emphasis on an accelerated adoption of
15 zero emission vehicles will develop commercial scale
16 technologies and markets for energy producers,
17 infrastructure providers, and vehicle manufacturers.

18 Last, while it might be a cliché, but the best
19 way to leverage private investment is to create market
20 certainty. Air Products is committed to investing, but
21 need to know the market will be there. That's where
22 long-term certainty on incentives, HRI credits,
23 regulations, and contracts for difference come in. We
24 recommend the CEC consider how it uses its one plus
25 billion dollars in infrastructure incentives to help

1 create this market certainty moving forward, and
2 especially as the state increasingly focuses on zero
3 emissions, heavy-duty transportation, and heavy industry
4 conversion.

5 With that, I want to again thank the CEC and
6 everyone for participating in this discussion and
7 supporting California's dream to become the first zero
8 emission state in the United States. Thank you very
9 much.

10 MR. BROUWER: Thank you very much Eric Guter
11 from Air Products.

12 And last, but not least, I want to welcome Laura
13 Nelson from the Green Hydrogen Coalition to present
14 next.

15 MS. NELSON: Hi. Thank you, Jack. I want to
16 make sure you all can hear me okay.

17 MR. BROUWER: Yes, we can. Thank you very much.

18 MS. NELSON: You bet. And I have my video on,
19 but I don't see myself so I think that --

20 MR. BROUWER: But we can see you now, though.
21 Those who are watching can see you, so that's great,
22 thank you for turning it on.

23 MS. NELSON: Okay, wonderful. You bet.

24 Well, Jack, Dr. Brouwer, it's always great to be
25 with you. Thank you for moderating today. And I want

1 to say, of course, also thank you to the California
2 Energy Commission. To Commissioner McAllister for his
3 leadership today, and Commissioner Douglas to you and
4 your team for organizing this conversation. And, of
5 course, Commissioner Houck we appreciate your work and
6 partnership with the Public Utilities Commission, as
7 well. So, thank you all for creating this opportunity.
8 And a special thanks to you, Commissioner McAllister,
9 for your engagement on some of our Western Initiatives,
10 which I'll talk about here in just a moment.

11 So, if you want to go ahead and move to the next
12 slide, that would be great. So, the Green Hydrogen
13 Coalition is a nonprofit 501(c)(3) and we are unique in
14 this way. We are an educational organization really
15 focused on facilitating the policies and practices that
16 will advance production and use of green hydrogen in all
17 sectors where it will accelerate a carbon-free energy
18 future.

19 And I think our approach is very unique. We
20 focus on large, scalable projects where we can
21 simultaneously leverage that supply and the demand
22 across multiple sectors so that we can scale, and
23 realize many of the economies that you've heard
24 discussed here today so that we create a cost
25 competitive opportunity for green hydrogen across many

1 sectors.

2 So, the next slide, please. So, just to give
3 you insight into what we're talking about when we look
4 at scale, we focus on initiatives that will help us to
5 build this scale.

6 Our core effort began with the Intermountain
7 Power Project, which is a project located in Delta,
8 Utah, and Utah happens to be my home state, with off
9 take in California. And this plant is being converted
10 from a coal facility today to a combined cycle
11 combustion turbine that will in fact use green hydrogen
12 on day one of operation in 2025. I'll talk about that a
13 little bit more in a minute.

14 We also view the importance of regional
15 collaboration to achieve our goals. How do we come
16 together to create strategic planning initiatives,
17 roadmaps if you will around these best policies and
18 practices so that we can create a very effective
19 ecosystem for green hydrogen production and use at
20 scale.

21 So, with this in mind we partnered with the
22 Western Interstate Energy Board and the National
23 Association of Energy Officials, NASEO, to create a
24 state led initiative to create this policy toolkit for
25 the ecosystem of green hydrogen in the west. And I'll

1 talk, again, a little bit more about that through this
2 presentation.

3 And then, our next initiative is what we call
4 HyDeal North America, where we're looking to bring
5 together production and off take in a hub area, so that
6 we can leverage all of the elements, commercial
7 contracts, infrastructure, production, off take in a
8 single setting to drive that scaled production and use
9 of green hydrogen.

10 And HyDeal North America is focusing first on
11 L.A., again talk about this more in a minute, does have
12 a target of \$1.50 a kilogram of delivered green hydrogen
13 by 2028. So, beyond just production of green hydrogen,
14 it's looking at that delivery as well.

15 So, next slide, please. So, one question we
16 often get asked is will the hydrogen economy finally be
17 here? It seems like it's been on the hype curve for a
18 while and, certainly, you've heard through Eric's
19 presentation that we do use hydrogen today. There are
20 many applications. Air Products, of course as a U.S.
21 company, has been great in providing us with many of
22 those resources that we need across multiple
23 applications.

24 But we're seeing this new momentum today and
25 you've heard this, I think, through all of the

1 presentations today that there are significant projects
2 in the pipe today taking us from a slightly below, I
3 believe about 100 megawatts of green hydrogen production
4 today, to over 50 gigawatts of green hydrogen production
5 in the next decade or less.

6 So, this is just an example of what we're seeing
7 in the news around the growing economy for green
8 hydrogen production and demand where you see off take
9 and production coming together to create these real
10 opportunities for green hydrogen.

11 So, big news. And I think we are finally at the
12 point, the tipping point if you will, for the green
13 hydrogen economy.

14 So, next slide, please. So, you also heard that
15 green hydrogen is a very small percentage of the
16 hydrogen that's produced today. It's actually less than
17 1 percent, maybe approaching 1 percent. But the
18 majority of it is in fact produced from natural gas, or
19 gray hydrogen, or brown hydrogen through coal. There is
20 some carbon capture and sequestration, or blue hydrogen.
21 But a very small amount is produced from renewable
22 resources.

23 So, what we see just in the process of producing
24 hydrogen even though, as Eric mentioned, in its final
25 utilization zero carbon, which is awesome. And we

1 totally support reducing those carbon intensities across
2 these many applications. We need to really consider how
3 we produce hydrogen and reduce that carbon intensity.
4 Because global hydrogen production today accounts for
5 emissions, CO2 emissions that actually are greater than
6 those of Germany.

7 So, it is an imperative, we believe, to reduce
8 the carbon emissions occurring from the actual
9 production of hydrogen.

10 So, next slide, please. So, just to give you,
11 just kind of reiterating those colors. If we talk about
12 these colors, we're really looking at what is the
13 primary feedstock. Is it a fossil-based resource or a
14 non fossil-based resource?

15 So, when we look at green hydrogen what we're
16 really talking about is a non fossil-based resource
17 approach to producing hydrogen. And we see many
18 technology streams to do that. Of course, electrolysis
19 is an important part of that stream, but we also see
20 biomass, or biogas opportunities existing as well to get
21 us to that really lower carbon intensity in terms of
22 production. And then, getting the win/win of lower
23 production CO2 with hydrogen, as well as lower
24 utilization CO2 with use of hydrogen.

25 So, next slide, please. So, this is just a nice

1 picture, I think, of what you've heard is hydrogen
2 really can be used across many sectors. We see it used
3 today in the refining space for example, in other
4 transportation, particularly in passenger vehicles
5 today, as well as other industrial applications.

6 But there are huge opportunities for hydrogen
7 today to create clean energy economies, and also to
8 drive local job growth, which we think is a very
9 important part of this overall conversation.

10 You heard Jack talk about the use of hydrogen in
11 our natural gas systems to lower the carbon intensity
12 there. We think that's a great and an important
13 application.

14 We also see increased applications for mining,
15 for hard-to-abate sectors in transportation, like
16 fleets, and maritime, and also air travel.

17 Energy storage, an important part of the
18 decarbonization effort underway today. And that brings
19 really to the power sector where there is tremendous
20 opportunity to provide for decarbonized energy that is
21 dispatchable and reliable.

22 So, next slide, please. So, I won't spend a ton
23 of time on this, but just another note that in fact
24 green hydrogen is commercially viable now, and it is on
25 trajectory for lowest costs, as Steve talked about this

1 in his presentation.

2 This is from IRENA, the International Renewable
3 Energy Agency, which really, I think, provides for
4 conservative estimates. And what they're saying is that
5 in the next decade we can expect, in fact, with just
6 these decreases in the levelized costs of wind and solar
7 that green hydrogen is going to be cost competitive,
8 certainly with blue hydrogen as a competitive option for
9 off take.

10 So, the next slide, please. And so, why is
11 green hydrogen important right now for California?
12 Well, this is, I think, really just a snapshot of why
13 it's important for California and really for the region.
14 And appreciate all that you all are doing and the work
15 that you're taking on to really plan for how we can meet
16 some of these challenges we see, specifically in the
17 case of this slide showing up in California, but I think
18 are increasingly becoming regionally significant as we
19 see an increased penetration of renewable energy
20 resources on our grid to support or clean energy goals
21 and as those costs of those renewable resources come
22 down and really out bid fossil-based alternatives.

23 What happens though, of course, is this
24 challenge of wind, those resources come online when
25 they're available based on the fuel supply. So, you can

1 see on the right side of this slide here that when we
2 have tremendous amount of renewables we use, to a 100
3 percent renewable energy scenario in California, that
4 we're going to have overproduction in certain hours and
5 under production in other hours. So, we really need to
6 do that shifting.

7 And when we have weather challenges or even fire
8 challenges, et cetera, that impact operation of our grid
9 this resource can be very important in shifting loads
10 and resources not just within the day, but across days,
11 even weeks.

12 And I think very importantly, because I think
13 this gets to the economics, we can avoid curtailments.
14 In March of this year, March of 2021, wind and solar
15 curtailments hit a record high. And those are really
16 uneconomic and send, I think, distorted signals to the
17 market about the important of those resources because
18 those resources can be in fact dispatched in other ways
19 to provide for grid reliability and balancing.

20 So, next slide, please. So, you also heard
21 mentioned that geologic storage of hydrogen can really
22 be a cost competitive solution. And we, at the Green
23 Hydrogen Coalition, are supportive of all types of
24 storage. Each type of storage really has a role to
25 play. What we're talking about is looking at that long

1 duration piece where you really need that several hours,
2 specifically if you go beyond 12 hours lithium ion
3 batteries are going to compete. You have limited
4 opportunities for compressed air storage. You even
5 heard discussion Steve, I believe it was, around pump
6 storage and limitations there.

7 And so, hydrogen really shows up as an
8 opportunity to meet that significant storage that's
9 going to be required to continue to integrate increased
10 renewable energy resources.

11 So, next slide, please. And just as an example,
12 and this is information that was provided to us by
13 Mitsubishi Power Americas, again with the lithium ion
14 batteries are very important resources. Combining those
15 with renewable energy projects is an important way to
16 shift load and resource in the day, looking at 4-hour
17 storage or even 8-hour storage. Lithium ion on a
18 levelized cost basis is the cost-competitive alternative
19 when compared to green hydrogen, in this case
20 specifically stored in salt dome formations, or in a
21 geologic formation. But really, it's about, and it's
22 not shown on this particular graph, but once you hit
23 about this 12 hour mark, you're really looking at
24 lithium ion batteries become more costly and not the
25 cost-effective option when compared to green hydrogen.

1 So, next slide, please. So, green hydrogen.
2 I'll mention the Intermountain Power Project is
3 converting from a coal-fired facility, 1,800 megawatts
4 today, to about an 840 megawatt gas-fired facility in
5 2025 that will utilize 30 percent green hydrogen on day
6 one with a scale up of 100 percent green hydrogen in
7 less than 20 years.

8 We understand from Mitsubishi, who is providing
9 the combustion turbine for this particular project, that
10 it isn't a matter of capacity or capability, I should
11 say, for the combustion turbine to utilize 100 percent
12 hydrogen. It really is a matter of getting the
13 production to scale.

14 And so, this product envisions significant
15 electrolytic hydrogen production that can be done on
16 site, with existing water rights, and then stored in
17 salt domes that are also co-located on the site, using
18 existing transmission lines. The onsite labor force
19 that's there today, skills can be repurposed so those
20 jobs are going to be really important to create this
21 unique opportunity to deliver clean, dispatchable energy
22 with significant scale ups over the coming, I think,
23 less than two decades, which is happening I think faster
24 than any of us would have imagined just 12 or 18 months
25 ago.

1 So, we believe that this is really a part of an
2 affordable and responsible transition. And as I always
3 like to say, creating this clean energy economy that
4 really is going to provide us with that resiliency,
5 reliability, and affordability that's given us the
6 quality of life we have. So, we think this is a great
7 example.

8 And interestingly, we're starting to see
9 announcements from, you know, NextEra in Florida, from
10 Long Island about using green hydrogen to reduce carbon
11 intensity of combined cycle plants today. So, we think
12 this has been a leader in causing much change in the
13 power space.

14 So, the next slide, please. So, green hydrogen
15 absolutely is a dispatchable, zero carbon fuel that can
16 reduce the need for fossil fuels and gas plants, as we
17 just heard. But I did want to emphasize that this is
18 also about creating jobs.

19 The Intermountain Power Plant, specifically, is
20 in a rural community where those jobs are very, very
21 important. Those individuals can be really
22 disadvantaged in terms of their economic access. And we
23 understand that power plants can often be co-located
24 with communities that are disproportionately impacted by
25 how we produce and use energy.

1 And so, we really want to share with you that
2 clean hydrogen, green hydrogen can also be a part of
3 what we considered to be an important solution for
4 disadvantaged communities for providing not just jobs,
5 but cleaner energy outcomes locally.

6 So, next slide, please. So, I want to talk just
7 quickly about our other two initiatives I mentioned.
8 First, the Western Green Hydrogen Initiative, which is
9 really building that regional collaboration to help
10 policymakers to evaluate and understand the potential of
11 hydrogen in achieving energy resilience, and creating
12 economic development opportunities in the west.

13 And so as you see here, we have 11 western
14 states. Three additional states that are really
15 interested because they think what we're creating here
16 is quite unique, and then we also have the participation
17 of two Canadian provinces.

18 So, if you think about it, it's really the
19 western interconnect that's involved in this. But this
20 is beyond power sector considerations, it's really
21 looking at the full scope of production and use of green
22 hydrogen.

23 So, next slide, please. And this is a state-led
24 initiative. I mentioned we partnered with two other
25 associations. But we really look to the states to

1 provide guidance to help inform what matters for their
2 economies, what matters for their energy policies.

3 So, Dan Lloyd from Montana, along with David
4 Bobzien from Nevada are the chairs for this initiative.
5 Commissioner McAllister, thank you again, Vice-Chair,
6 along with John Chatburn, the second Vice-Chair for this
7 initiative. And we appreciate the great leadership that
8 these states are providing. And we think that the
9 partnership and roles that the states can provide is
10 particularly unique.

11 And what the California Energy Commission is
12 doing in terms of planning and determining how we can
13 better build our system is very informative to the work
14 that the states are doing now.

15 So, next slide, please. So, the last initiative
16 I want to talk about is our HyDeal North America. I
17 mentioned that we're starting in L.A. HyDeal LA is
18 really focused on establishing this first green hydrogen
19 industrial hub at scale. And we are really bringing
20 together all of the different partners and advisors to
21 help to create momentum for green hydrogen very, very
22 quickly so that we can realize that buck 50 delivered
23 cost, achieve 100 percent renewable electricity that's
24 affordable and reliable, decarbonize many sectors
25 including the refining sector, and moving towards

1 renewable fuels. Providing for that green ammonia
2 solution for maritime goods and movement. And
3 demonstrating green hydrogen fuel cell passenger flight.

4 In fact, we do have a member, a sponsor of the
5 Green Hydrogen Coalition that is working on this today.
6 And that we can, in fact, look for those export
7 opportunities again driving, I think, economic and
8 global solutions for green hydrogen at scale.

9 So, the next slide, please. And we have many
10 partners that are supporting us and really dedicated
11 across contracting, and planning, funding, policy, and
12 regulatory, and project management.

13 So, the next slide, please. And we appreciate
14 that we have a multitude of advisors, including
15 environmental groups, National Labs, utilities. Jack, I
16 see your picture there. As well as helping us, really,
17 to create something that is a sustainable solution for
18 L.A. And we believe that we can replicate this model in
19 other locations.

20 So, next slide, please. So, our first part, we
21 are going to do this in phases, but we want to leverage
22 existing infrastructure, including transmission
23 infrastructure. We want to look at how we can utilize
24 the green hydrogen in the natural gas pipeline, and
25 really create this locally diverse resources that can

1 provide the solutions that I've mentioned.

2 So, I'm going to wrap up here because, Jack, I
3 think I'm at time.

4 So, the next slide, please. So, we are creating
5 a regulatory and policy roadmap that will help us to
6 resolve these issues. And I'm going to -- you have
7 these slides, so I'm not going to spend a considerable
8 amount of time here because I really would like to get
9 to my next slide. Which should be, you know, we
10 appreciate all of the work that the California Energy
11 Commission does. We look forward to working with you to
12 advance these goals.

13 So, if you can just go ahead and progress to the
14 next slide, that would be great. We think that there is
15 an absolute important role for you all to play in
16 helping with the modeling about optimal portfolios
17 across gas and power sectors to help us study how we can
18 accelerate transformation of existing assets, and create
19 skilled jobs, including repurposing natural gas
20 pipelines, accelerating hydrogen industrial hub
21 development. Helping to clarify that green hydrogen
22 used in a fuel cell in turbines can quality for RPS, and
23 an RPS guidebook we think would be very important.

24 Help to create a alignment with key stakeholders
25 including labor and environmental justice groups.

1 And then, finally, RD&D is critical. We've got
2 to continue to expand and build our portfolios so we
3 understand all of the opportunities, applications, and
4 other considerations around use and production of green
5 hydrogen.

6 So, with that you can go to my next slide, which
7 I think should be my last slide, which is we want to be
8 in touch. We want to work with you and so we continue
9 to produce materials that will to inform you all. And I
10 look forward to your questions. So, thank you so much.

11 MR. BROUWER: Thank you very much, Dr. Nelson.

12 And now, I believe, we want to open it up for
13 the dais to ask us any questions you'd like or have us
14 follow up. I'd like to have, yes, everyone from the
15 panel to turn your video on, if you may, and I'll turn
16 it over to Commissioner McAllister, please.

17 COMMISSIONER MCALLISTER: Great. Yeah, can you
18 hear me? I think I'm unmuted. Yes?

19 MR. BROUWER: Yes.

20 COMMISSIONER MCALLISTER: Great. Well, thanks
21 for a great panel, this is really excellent. And, you
22 know, some of the themes sort of carried over from this
23 morning, but this was very pragmatic and I think very
24 targeted in the right way, you know, around the
25 technologies.

1 So, but I think I would -- so, we have a lot of
2 folks on the dais. Thanks everyone for joining. And I
3 think I'll invite Commissioner Douglas to take the lead
4 on the questions and then we can poll the rest of the
5 dais, Commissioner Houck, Monahan, and Deputy Secretary
6 Baker.

7 COMMISSIONER DOUGLAS: Thank you, Commissioner
8 McAllister. And I'll ask -- sorry -- I'll ask a few
9 questions and then I may come back and have a few more.

10 But a question for Steve, you know, from Nel
11 Hydrogen is just in terms of the production target of
12 \$1.5 a kilogram by 2025, if I understood correctly, can
13 you maybe help me understand again how you see the
14 market getting to that number?

15 MR. SZYMANSKI: Yeah. I mean I think, you know,
16 the inputs to the TCO model that we used to kind of
17 arrive at that figure are -- you know, there's certain
18 parameters that are out of our control. Certainly, we
19 are in control of, you know, kind of the capital cost of
20 the electrolyzer equipment. We have some amount of
21 control in terms of the efficiency, the electrical
22 efficiency of the electrolyzer equipment.

23 You know, but certainly other inputs, you know,
24 such as the cost of the electricity feedstock is
25 somewhat out of our control. But, you know, we are

1 using kind of market information that says, you know,
2 gee, if we can get to \$20 a megawatt hour of energy
3 input cost at, you know, some kind of capacity factor,
4 you know, we can get there.

5 And so, you know, I think that kind of the
6 things that, you know, we need to happen to enable \$1.50
7 per kilogram hydrogen are -- you know, they're pretty
8 basic. I think we need to see, you know, real
9 commercial projects where you can, you know, get
10 electricity, green electricity at a certain cost and at
11 a certain capacity factor and, you know, that really
12 kind of enables the pathway to getting there.

13 COMMISSIONER DOUGLAS: Thank you. Just another
14 question, this one for Venkat, if I could. Just I was
15 intrigued by the discussion of the reversal cell that
16 can be reversed and become an electrolyzer. I just
17 wanted to understand a little bit. If you could discuss
18 any of the opportunities or applications of this
19 technology, as you see it, that would be helpful.

20 MR. VENKATARAMAN: Yeah, I think we are actually
21 trying out a few of them, even we have one application
22 with the DOE in general, and we did that. So, the main
23 thing is that people always talk about reversibility.
24 The advantage you have is we can run, if you have excess
25 power from this hydrogen storage, and then take the

1 hydrogen and release it back power, the time and
2 production of hydrogen and as well as the power, and
3 using hydrogen as storage is the perfect applications
4 where we can use it.

5 So, then you come into a question of what would
6 be the efficiency of it, kind of the (indiscernible) --
7 kind of a company who has batteries. But what we have
8 proven is that it may be a little bit less efficient in
9 terms of the benefits and overall efficiency. However,
10 from a storage and cases it actually perfectly makes
11 sense.

12 There are two attempts made. One is can you put
13 everything in one box, can you run it in two different
14 directions? People have looked at it. But that makes
15 it a little bit cumbersome because you will like --
16 sometimes you want to produce hydrogen and you want to,
17 well, produce power, and this is in case conflict.

18 So, what the philosophy we are following is that
19 there are a few applications there. Keep electrolyzers
20 separately because that's where you can optimize the
21 cost so that you can get to the one and a half dollars
22 per kilogram, I think if you have a couple of cost and
23 then the energy you're putting in is cheap, then you can
24 probably choose. So, keep that separately.

25 And use the fuel cell, and the same thing cost

1 optimized, they can coexist in the same place. So, we
2 have a few program like that, that we are going to be
3 running next year. One is with the DOE. So, that's the
4 place where hydrogen is used through storage and you can
5 see when you want to produce hydrogen when the excess
6 power is there, and when you want to produce more or
7 less hydrogen as storage.

8 COMMISSIONER DOUGLAS: Interesting. I just had
9 one more question and then I'll open this up for others.
10 And that was for Eric, just really briefly.

11 You know, you talked about the need for policy
12 to accelerate the transition to hydrogen in a general
13 way, but do you have any specific recommendations you'd
14 like to put before us?

15 MR. GUTER: I think, you know, greater education
16 around the state as to where the state sees hydrogen
17 playing a role would be helpful. As I think about the
18 ICT, as an example, Innovative Clean Transit, right,
19 we've spent -- we've had every trans agency up and down
20 the state trying to figure out do I go with battery
21 electric, do I go with hydrogen, and each one of them
22 performing a study. Probably one of the most
23 inefficient means of, you know, using resources and
24 capital to figure out whether we want to use battery
25 electric or hydrogen as a fuel source.

1 And so, areas like that where we can help
2 clarify for industry or by policy where we see hydrogen
3 playing a distinct role, versus battery electric, I
4 think would be hugely helpful.

5 COMMISSIONER DOUGLAS: Uh-hum, that makes sense.
6 I think that's it for me right now. Thank you. Other
7 questions?

8 DEPUTY SECRETARY BAKER: Yeah, this is Matt. I
9 just wanted to ask kind of a little bit of a sharper
10 follow up on your question, Commissioner Douglas, and
11 maybe turn this around.

12 You know, what do you see as the barriers to,
13 you know, moving this technology forward in California.
14 And in particular barriers that might be able to be
15 addressed by policy? And, you know, for the whole
16 panel, if you could just be quick, though.

17 MR. GUTER: Certainly, I think there's -- from
18 my perspective it's around price uncertainty and net
19 conversion, right. Everyone is waiting, there's all
20 talk about getting to \$1.50 by a certain time frame, so
21 no one wants to be a first mover because everyone wants
22 to wait for \$1.50.

23 I think there are ways to commercially address
24 that, but what's most important is developing the
25 production infrastructure and end-use markets, and

1 rapidly transitioning as we collectively drive down that
2 cost over time.

3 MR. BROUWER: There are some policies that are
4 currently in the works. For example, like at the CPUC,
5 that would engender microgrid technology that are very
6 important for these kinds of energy conversions, these
7 electrochemical energy conversions. They haven't moved
8 that quickly through the CPUC, yet, to engender this
9 sort of end use. Right. That would engender reliable
10 use of fuel cells, plus solar, plus batteries in
11 microgrids to help the state. That's an example of
12 policy that's moving, but not yet approved.

13 Another one is access to some of the markets.
14 So, for example if wholesale market access could be
15 granted to electrolysis wherever it was in the grid,
16 even if it was in the distribution system, like some
17 other energy storage technologies, but since it's not --
18 doesn't necessarily return electricity back to the grid,
19 they're not able to access that same sort of aggregated
20 battery energy storage access to wholesale markets.

21 So, this is one of the ways in which you could,
22 you know, help engender more widespread use of that
23 curtailed electricity and even cheap electricity at the
24 wholesale markets whenever it's available, and usually
25 that's renewable electricity. That would be a very nice

1 policy to adopt.

2 There could be additional policies, too, that
3 would support things like the fueling infrastructure,
4 which the Energy Commission and the state has been very
5 well supporting. But if it could be engendered towards
6 these communities that need it the most, right, those
7 that don't have access to the battery electric vehicle
8 charging, and to heavy duty, and things like this, this
9 would be pretty nice for engendering hydrogen adoption
10 where it's most needed. There might be others.

11 MR. VENKATARAMAN: I think definitely microgrid
12 is a big one because we've been in the thick of it,
13 right, in terms of creating a dispatchable situation,
14 right. And certainly that will help a lot locally from
15 introducing the technology.

16 In terms of hydrogen itself, there -- if you go
17 to two different aspects of it. One is injection into
18 the pipeline. We definitely need to get to a point
19 where people are comfortable with it. We definitely
20 need some more --

21 MR. BROUWER: I forgot, I can't believe I forgot
22 that one. Yeah, that's very important. And it's very
23 important not because of the immediate decarbonization
24 impact, but because of this technology evolution and
25 eventually being able to transform to 100 percent.

1 Yeah, that's very important. And adopting renewables.

2 Yes, very good. Thank you.

3 MR. VENKATARAMAN: Yeah, that one is big. In
4 terms of mobility this is another thing, right. If you
5 look at other countries where they are falling pretty
6 quickly into changing over from EV charging to hydrogen,
7 also we definitely need to push hard on that.

8 Because if you imagine, you can go and take your
9 car and fill the hydrogen, and run for long. It's a
10 huge, huge benefit. So, we definitely need some kind of
11 a push for policy to push on the mobility. Because
12 otherwise what will happen is you still will be caught
13 in the paradigm of using EV chargers and batteries.

14 The last one, I think going back to the
15 injection, when you go into a downstream in using your
16 appliances or anything like that, people worry about how
17 the actual transition is to the hydrogen. Because even
18 if you have a conduit of hydrogen going through to the
19 end point, people have to prepare for it. So, we
20 definitely need some more initiatives to push it. As we
21 look at globally, that's going to be an important point
22 to completely decarbonize, right.

23 MS. NELSON: Hey, Jack, this is Laura. I just
24 wanted a general comment. Because there's so much
25 discussion around the cost I think that we overlook the

1 benefits. And I think that we really have to think
2 about how we are going to value those benefits. And
3 certainly, I think that comes into planning, and also
4 pricing, and how we're going to do tariff design.

5 And so, I think that we have to look across the
6 board at both regulatory effort of legislative activity.
7 We've been working on designing green hydrogen, really
8 having a sense about how that can drive decarbonization
9 and highlighting the benefits of that particular
10 resource. And so, then I think that that plays in to
11 how we capture that in tariff design, and also in our
12 planning efforts.

13 MR. SZYMANSKI: This is Steve. I'll say that,
14 you know, I spent a lot of time talking about green
15 ammonia as a hydrogen carrier and how, you know, it
16 really can propagate hydrogen, you know, over large
17 spans of the globe. And, you know, one of the important
18 aspects of kind of creating a -- you know, kind of a
19 premium for green ammonia based on the kinds of benefits
20 that are being discussed is certification.

21 And so, we're spending a lot of time trying to
22 create a model of certification for green ammonia
23 because, you know, you need to be able to assure that,
24 you know, if a customer really does value the premium
25 that you get out of a commodity that you properly can

1 track and, you know, certify that value.

2 So, I think that is the kind of thing that we
3 need to kind of get to eventually because, you know,
4 right now I think there are customers that are willing
5 to pay a premium for these kinds of benefits, but
6 there's no easy way to kind of discern, you know, how
7 you're assuring that value.

8 COMMISSIONER MCALLISTER: Thanks for that. So,
9 I want to invite either Commissioner Houck or
10 Commissioner Monahan, you can -- assuming both of you
11 have questions, maybe one of you can volunteer to go
12 first.

13 COMMISSIONER HOUCK: And I can go first. I'll
14 make it kind of quick because you've already started to
15 answer it. Just following along the lines of the last
16 question. As has been discussed today the Energy
17 Commission's been doing a lot of really great work in
18 this area. And as this technology is moving forward
19 where do you see the PUC's role or what areas do you
20 think the PUC should be looking at as we're examining
21 the potential for green hydrogen to be a part of our
22 clean energy future?

23 MR. BROUWER: So, I mentioned a couple of things
24 associated with the PUC previously. One of them is the
25 microgrid proceeding. But there are many others, too.

1 there was the renewable gas injection proceeding. I
2 think that might be over now. But it didn't consider
3 the injection of renewable hydrogen and, yet, this is a
4 very important aspect of enabling this transformation
5 that we know we must engender in the future.

6 So, adopting a renewable hydrogen injection
7 standard for the gas utilities is a very, very important
8 thing. And I don't know if that will require a new
9 proceeding or what will engender that at the PUC.

10 There are some additional things, too. In the
11 reliability there is, I think, an open proceeding on the
12 reliability of the electric grid. And I think that
13 including something like the potential for delivery of
14 renewable hydrogen via gas pipeline to existing gas
15 plants would be remarkably effective at doing this.

16 So, for example, when we had the PSPS events and
17 wildfires here in Southern California, LADWP was able to
18 keep the lights on by running the coastal power plants.
19 Now, we don't want to keep doing combustion there in the
20 long term because we'd like to have fuel cells there,
21 instead, which would have zero carbon and zero criteria
22 pollutant emissions. But in the short term, if we could
23 decarbonize them with directed hydrogen, I think that
24 would be a remarkable achievement. And it would show
25 the world how we can reliably move towards 100 percent

1 zero carbon.

2 MS. NELSON: Hey Jack, this is Laura. I wanted
3 to bring up one other thing that you mentioned earlier,
4 I think in your opening remarks, was around tariff
5 design and specifically looking at how we can use -- you
6 know, we can create a tariff for electrolytically
7 produced hydrogen. Because electrolyzers can really be
8 used as a flexible load source.

9 So, I think that's something that we could
10 continue to provide education and inform on, and
11 consider going forward. So, I think there may be things
12 that aren't underway right now, but certainly could be
13 in the mix that I think would support electrolytic
14 production in this case of green hydrogen.

15 And I don't know, you mentioned it earlier Jack,
16 and I don't know if you want to add anything to that.

17 MR. BROUWER: Yeah, I guess if access to
18 wholesale markets could be given to hydrogen production
19 that uses electricity in ways that supports increased
20 renewables on the grid. So, this is very important.
21 So, if they get dispatched in a way that supports adding
22 more and more renewables on the grid, then wholesale
23 access could be granted as a result of that kind of
24 dynamic performance.

25 And this is very much the same as battery energy

1 storage has been engendered by CPUC policies and
2 implementation over the years.

3 But again, it's a different thing. Now what you
4 are doing, instead of storing electricity and giving
5 electricity back, you're making green hydrogen and then
6 it gets to be used to displace petroleum or something
7 like that in its end use.

8 So, sometimes it's hard to cross sectors like
9 this. I know that the implementation of SB 350 was
10 supposed to allow some of this cross-jurisdictional
11 things, hopefully things like that could be engendered
12 as well.

13 MR. VENKATARAMAN: Yeah, one thing I do want to
14 point out, the green hydrogen part of it, as I say, in
15 the stored one, the energy that is stored or you've got
16 the hydrogen is not necessarily to go in terms of grid -
17 - in the grid. It has a multitude of things. Jack,
18 that's what you're alluding to. The user stored
19 hydrogen can be multiple to the decarbonization, not
20 necessary going into bulk pricing. So, that's an
21 advantage you have, unlike going into battery storage
22 you have only one limited use which is essentially
23 getting the power back. It's not necessarily the only
24 use for hydrogen, you can use it for any purposes,
25 right. For chemical industry or chemical, you can do

1 it. There's a whole range of applications you can do.
2 That's the power of hydrogen compared to just using
3 batteries.

4 MR. BROUWER: Yeah.

5 COMMISSIONER MCALLISTER: I want to keep our --
6 I just want to keep our eyes on the clock. So, we're --
7 the schedule says that we have until 3:40 for this. I'd
8 ask Heather and her team whether we have a lot of public
9 comment or that we seen to, because we have until 4:30
10 overall. But I want to make time for some Q&A from the
11 Zoom participants and public, and then for some wrap up
12 comments. But we have some time, just want to keep it
13 moving along.

14 And I see that Commissioner Monahan has a
15 question.

16 COMMISSIONER MONAHAN: I do. I'm curious, you
17 know, the statement that green hydrogen should be
18 cheaper than gray or brown hydrogen. How much
19 controversy is there around that presumption?

20 MR. BROUWER: So, these are -- okay, so we have
21 done independent analyses that also include scientific
22 methods that are proven to be accurate with regard to
23 their predictions and their back casting of solar and
24 battery energy costs. Okay, battery system costs. And
25 these are the exact same methods that apply a learning

1 rate, and a market size are applied to the electrolyzers
2 and the fuel cells. And since they scale in a similar
3 way to solar and batteries, with the surface area that
4 you're able to produce in an individual cell, I'm quite
5 confident that these -- that with the appropriate policy
6 and incentives on the front end we will very, very
7 quickly move down that cost curve. Just like people
8 were kind of surprised happened with solar, okay, and
9 with batteries.

10 And it's a very similar cost curve and market
11 projection that I'm quite sure will move us down to
12 making green hydrogen cheaper than even the fossil that
13 we have today.

14 COMMISSIONER MONAHAN: And Jack, is it around 2
15 cents per kilowatt hour, is that the magic electricity
16 price?

17 MR. BROUWER: Yeah, so I agree with Steve
18 Szymanski who in the end says the most important factor
19 is actually the cheap electricity. Because eventually
20 when you get to a reasonably high capacity factor and
21 you have cheap electricity that's what matters the most.
22 Because the cost of the electrolyzer is a last important
23 fact then in the end. Yeah.

24 MR. VENKATARAMAN: On thing you need to
25 calibrate: Today we use hydrogen all over as in our fuel

1 cells, right. We pay in the neighborhood of anywhere
2 between \$8 to \$10 of kg today. So, even though the SMR,
3 whatever the source you have, people claim that it can
4 be produced at dollar 50, but end consumer like us, we
5 pay more in dollars. So, I want to put that in context.
6 So, even though we are challenged to produce hydrogen
7 and there are, but the thing that we --

8 COMMISSIONER MONAHAN: Yeah. Well, I was saying
9 this morning, actually, that at the pump it's more like
10 \$15 to \$18.

11 MR. VENKATARAMAN: Exactly.

12 COMMISSIONER MONAHAN: There you go.

13 MR. VENKATARAMAN: We can put a (indiscernible)
14 requirement on the green hydrogen when it actually
15 benefits the environment. But it's also you've got to
16 put a reality spin on it because even the current one,
17 what are the gray areas you produce -- and this is not
18 cost effective, either, from a consumer perspective.
19 Maybe the source is low, but it's not the case when you
20 use it. Otherwise, we'll be running a whole range of
21 fuel cells of hydrogen today since we have a --

22 COMMISSIONER MCALLISTER: Yeah, so I want to
23 sort of maybe extend this. So, Jack, I appreciate your
24 sort of bringing in the learning curve literature and I
25 think that makes a lot of sense here.

1 I guess I am wondering if there are any
2 particular points in the fuels -- in the hydrogen
3 ecosystem, say with fuel cells, electrolyzers, or any
4 other components that might be unique in terms of, you
5 know, what might inject a little hiccup into that
6 learning curve and make it not so smooth.

7 And maybe there's, for instance, you know, some
8 of the resources that are needed, like rarer or some
9 things like that. I wonder if there's, you know, in
10 particular bottlenecks that you want to raise the flag
11 on that might need a policy response?

12 MR. BROUWER: A very nice question. Our
13 analyses, associated with both the fuel cells and
14 electrolyzers, suggest that the -- that -- okay, first
15 of all, only some types of electrolyzers have the need
16 for precious metals. In particular, proton exchange
17 membrane fuel cells require precious metals.

18 If you look at the alkaline electrolyzers and
19 the solid oxide electrolyzers, they don't require the
20 precious metals. Now, they do require some metals that
21 are pretty expensive, like some of the stainless steels
22 that are used and things, but they aren't precious
23 metals. And even if you look at the precious metals
24 that are required in proton exchange membrane fuel cells
25 and electrolyzers, these are in very, very small

1 quantities. That's the first point. And they are
2 highly recoverable and recycled at the end of life.

3 And so, what ends up happening is that it's very
4 different than the limitations that you see for lithium
5 ion batteries, which are hard to recycle and hard to
6 recover, and you need to use massive amounts of those
7 kinds of materials. You use very small amounts.

8 And so, it's of course a very good question and
9 we need to be concerned about end of life, and
10 recycling, and everything, too. But I don't see a
11 fundamental limitation that would be a hiccup into the
12 learning rate, as you asked.

13 MR. VENKATARAMAN: Yeah, I think for us,
14 actually, that's a good question. We have looked at
15 what we are using in the solid oxide fuel cell is
16 exactly the same type of material we use for the
17 electrolyzer. And we don't really have any supply
18 problem because it's not precious metal. And there's
19 enough of (indiscernible) available. And also, if we go
20 with electrolyzer.

21 For us, I think, that's not been a challenge.
22 Even if you go to gigawatt worth of electrolyzers, it
23 shouldn't be a big problem --

24 COMMISSIONER MCALLISTER: I had one more
25 question, but go ahead Commissioner Monahan.

1 COMMISSIONER MONAHAN: Oh, I was going to build
2 on what you just said, Commissioner McAllister, just in
3 terms -- I mean, if the primary issue is really around
4 electricity price, do you see anything that we can do in
5 the R&D space to remove any other roadblocks?

6 MR. BROUWER: There's a whole bunch of R&D
7 questions that I think are important. And a lot of them
8 are associated with safety. So, for example, if you
9 could engender the safe transformation of pipeline
10 infrastructure, or the safe transformation of
11 underground storage facilities, which we don't know
12 exactly how to do that, yet. Okay, so research and
13 development in those kind of things.

14 Safety and end use capability with hydrogen and
15 natural gas mixtures. So, things like, you know, the
16 residential stoves, and heaters, water heaters, and
17 space heaters and things like this, could they be
18 transformed into something that is hydrogen-based and
19 things like that.

20 So, there's a whole bunch of research questions
21 that go along the way of the vision that I suggested.
22 As a matter of fact my backup slides, which you have now
23 before you, suggest a number of RD&D topics that you
24 could consider. I didn't have time to present those. I
25 wasn't planning on presenting them, I was just having

1 them available for you.

2 And those aren't the only ones, those are just
3 some of the ones that came out of our research program
4 here.

5 COMMISSIONER MCALLISTER: Great. I want to just
6 get one more question out really quickly. And so a
7 couple of you, I think, and maybe this morning it also
8 came up in terms of the -- some sort of, you know,
9 hydrogen injection standard or, you know, sort of the
10 certification issue has come up. And I guess I want to
11 just invite a little more discussion about that because
12 I think it's likely that something along these lines, a
13 discussion along these lines might occur at the
14 Legislature at some point.

15 And so, a clean gas standard, you know broadly
16 speaking, perhaps in that context, you know, are you
17 suggesting that hydrogen should just be part of that, or
18 it should get a carve out, or there's some particular
19 policy on the gas side that's unique to hydrogen as
20 opposed to some of the other forms of non-fossil gas.

21 MR. VENKATARAMAN: So, I think we have to come
22 to some conclusion on the injection centers. I can tell
23 you that the amount of hydrogen that we can inject into
24 the pipeline in a safe manner have been discussed quite
25 heavily in the literature. It can go anywhere between

1 25 percent to almost like 29 percent by volume is not a
2 problem. So, even the existing infrastructure will
3 handle it.

4 So, many countries are actually trying to come
5 up with standards on it. And people worry about if the
6 hydrogen content goes higher than that, it is going to
7 be a problem. It's always a common fear, right. But we
8 do have to come up with some standards which is globally
9 that can be used either in California or U.S. This is
10 important.

11 The research, we have done it. I think even we
12 have done -- some of the testing we have done and 30
13 percent is not a problem, but people have to get
14 comfortable with it, right. So, I think any policy
15 stance you have will help a lot.

16 And then, there are also questions about
17 embrittlement, somebody's asking it. Yes, it is
18 something that needs to be looked out, but there are a
19 variety of choice on the fuel that we can easily deal
20 with the problem with it. So, I think others can answer
21 that, but it is solvable. It's not a major issue.

22 MR. BROUWER: And it's a phenomenon that is slow
23 and then there are so many mitigation ideas, you know,
24 things that would coat those or put a pipe just in the
25 same right of way, or put a pipe inside of a pipe or all

1 kinds of things that are relatively low investment means
2 of transforming. But those still also could use some
3 RD&D investment, at least the demonstration part, from a
4 lot of companies that are developing these kinds of
5 solutions.

6 And we can learn a lot also from other
7 jurisdictions that have already adopted injection
8 standards, and already adopted a certain limit that they
9 allow. And even like I said before, a small limit in
10 the beginning and involving the utilities which know
11 that, hey, we have primarily plastic in this region,
12 okay. And we can inject right here and we know it's not
13 going to be an embrittlement problem. But here, we have
14 to check for this, you know, and these kinds of things.

15 I think enabling the utilities to work with
16 researchers to start doing it and investigating the
17 challenges that result is very, very important.

18 COMMISSIONER MCALLISTER: Great, thanks to all
19 of you very much, super helpful. And obviously, there's
20 a lot to dig into there going forward. We're not going
21 to answer all of these questions today but really
22 important to get, hopefully, a collective direction to
23 be able to build something if, indeed, that conversation
24 does happen, you know, say around a clean gas standard.

25 Let's see, I guess we're over time, but I don't

1 think it's a problem because we don't have a huge number
2 of questions from the audience. But I do want to move
3 to Zoom questions, now, and would pass it off to the
4 IEPR team to help moderate that.

5 MR. ERNE: So, Commissioner McAllister this is
6 David Erne. I'll be moderating any questions.

7 COMMISSIONER MCALLISTER: Oh, hey David.

8 MR. ERNE: Yeah. And folks have been -- folks
9 on the panel have been responding to some of the
10 questions and answering them as time goes on, so we're
11 really down to two; the most recent one on
12 embrittlement, which was discussed.

13 So, of the two remaining questions, one question
14 is: In the context of grid scale electricity, I
15 understand the benefits of green hydrogen to be clean
16 dispatchable energy and long duration energy storage.
17 Am I missing anything?

18 So, if folks want to talk about other benefits
19 they see to grid scale electricity for hydrogen, please
20 chime in.

21 MR. BROUWER: Well, I can speak to that.
22 Certainly, those two features are engendered by
23 introducing green hydrogen to support the electric grid.
24 But there's a lot of other things that have to go along
25 with it, right, like that underground geologic storage.

1 That's actually proven to be viable and work well, okay,
2 in salt cavern underground storage.

3 As a matter of fact, Air Products and other
4 companies are operating salt caverns with hydrogen
5 storage right now very successfully, with very low
6 leakage rates, and the like.

7 So, but we don't know for sure if we can
8 transform the depleted oil and gas field underground
9 storage, geological storage facilities that are
10 currently in operation in the State of California.

11 So, you know, there are some things that we need
12 to invest in to determine if we can actually provide
13 that sort of long-duration storage.

14 When it comes to grid scale electricity, they
15 can also, once you build these facilities, provide
16 short-duration storage services as well. We have shown
17 that the dynamics of the fuel cells that can be coupled
18 to these hydrogen energy storage facilities can be very,
19 very quick and offer short-duration and long-duration
20 storage capabilities. And also, including things like
21 spinning reserve, and N+1 FERC capacity requirements can
22 be met by these kinds of facilities. So, there's a
23 whole bunch of other grid services that could be
24 provided by these kinds of entities. Fuel cells and
25 electrolyzers operating on renewable hydrogen in the

1 grid context.

2 It also can provide voltage support, frequency
3 support. Sorry, I don't need to name all the ancillary
4 services.

5 MR. VENKATARAMAN: By the one, one of the
6 concepts that we have from a reversible perspective
7 exactly fits in this. Right, if you do our way of
8 producing hydrogen there are applications that we can
9 do, which in a microgrid part of it, in a campus level
10 that we are actually trying to put together for next
11 year, does help in a bigger way. Right. And it gives
12 you the versatility that we're looking for.

13 So, the research we are doing with NREL and with
14 ID, Idaho National Lab, and DOE is a good one to go and
15 test it out. It does give you the resilience as
16 hydrogen is used as a storage unit. So, there are more
17 things we can do.

18 MR. ERNE: Any more responses?

19 All right, move to the next question: Could
20 more details be provided to explain how battery storage
21 for longer periods of time becomes expensive? For
22 example, does this mean that a Tesla power wall stored
23 energy to be used as a (indiscernible) -- this is in
24 comparison to the long-duration storage, the inexpensive
25 aspects of long-duration storage using hydrogen.

1 MR. BROUWER: I believe that it was the
2 presentation of Dr. Nelson of the Green Hydrogen
3 Coalition that presented that information.

4 But we have done similar analyses and it's
5 primarily because of separate power and energy scaling
6 that is enabled by the hydrogen energy storage systems
7 that batteries cannot provide. Every battery comes with
8 a fixed amount of kilowatts and a fixed amount of
9 kilowatt hours. Okay. So, if you need more kilowatt
10 hours, you have to buy more batteries. If you need more
11 kilowatts, you have to buy more batteries.

12 Hydrogen, on the other hand, if you need a
13 certain kilowatt rating and you need a massive number of
14 energy kilowatt hours rating, you just build the tank a
15 little bit larger. And use the same electrolyzer in the
16 same fuel cell.

17 And so, what ends up happening is there's always
18 a crossover point where hydrogen energy storage becomes
19 cheaper than battery energy storage. It's that separate
20 power energy scaling feature of hydrogen.

21 A second thing to note is that for long duration
22 storage self-discharge of something like a power wall,
23 okay, will occur. So, if you charge it one day and you
24 leave it for a week and then you discharge it, you only
25 have order of magnitude 90 or 95 percent of it left. If

1 you leave it for six months, you may have nothing left.
2 Because self-discharge always occurs with battery energy
3 storage that has the chemicals immediately in contact
4 with the electrodes.

5 Hydrogen is separate. You put it in the tank,
6 it's over there. Here are the electrodes from the
7 electrolyzer and the fuel cell. And so that's why it
8 doesn't have that self-discharge problem, also.

9 MR. ERNE: Thank you, Jack.

10 And we'll just go through the last question here
11 quickly, which is: As California is subject to severe
12 droughts, do you see problems with supplying sufficient
13 quantities of water and a large scale production?

14 MR. BROUWER: So, the answer is unequivocal, no.
15 It's not to say that water isn't a challenge, but in the
16 hydrogen economy analysis that almost every
17 jurisdiction, it's not just me that's saying, Japan is
18 saying this, the UK is saying this, Germany is saying
19 this, the amount of water use economy wide will go down
20 when we introduce this renewable hydrogen economy using
21 water to make renewable hydrogen.

22 Why is that? It's because on the power plant
23 end of things, like Bloom Energy servers, they hardly
24 use any water. As a matter of fact, they can make
25 water. As opposed to the current use of water in power

1 plants today.

2 So, overall there will be less overall water
3 use. Now, maybe we'll have to use it in different
4 places than we used it before and that's going to be a
5 challenge, because we've got to move the water around in
6 society a little bit differently in the hydrogen
7 economy. But less water overall is going to be used in
8 a hydrogen economy that uses water for making renewable
9 electricity than we currently use for our society. So,
10 this is a very important aspect to think about.

11 The other thing to think about is it's a
12 virtuous cycle. You use water, okay, when you make the
13 renewable hydrogen. But when you convert it back to
14 electricity, it makes the water back. And the earth is
15 able to move that water around, you know, on the order
16 of seasons, okay, to return it back to you in that same
17 location.

18 So, it's something that I'm sure we can
19 sustainable do forever, if we want to.

20 MR. ERNE: Thank you, Jack.

21 Heather, I turn it back over to you.

22 MS. RAITT: Great, thank you. Thanks so much.
23 So, thanks to our panelists, that was really wonderful.

24 And so, we will move on to our last presenter,
25 Mike Petouhoff who spoke this morning is back. And he's

1 a Manager, again, over -- just repeating that he works
2 in the Energy Commission's Research and Development
3 Division.

4 So, go ahead, Mike.

5 MR. PETOUHOFF: Thank you, Heather. I was asked
6 just to make a few comments about the process for the
7 EPIC Investment Plan.

8 The next slide, please. So, even though this is
9 an IEPR workshop and comments will certainly support the
10 IEPR report, but you can also make comments that may
11 feed into EPIC for some of the research things, so we
12 want to share what those are.

13 We're essentially looking under EPIC this cycle
14 about four themes, decarbonization, resilience and
15 reliability, entrepreneurship, and affordability, and
16 the overarching theme of equity.

17 The next slide, please. There's been a series
18 of public workshops from May until July. One of them
19 was July 1st, which was the EPIC Hydrogen Workshop. And
20 then, now that those workshops have come to closure, on
21 August 4th there's going to be a workshop that is an
22 opportunity to prepare or present the overall proposed
23 EPIC Plan.

24 And then, sometime in September there will be a
25 business meeting where the plan will be considered for

1 approval, and then submitted to CPUC around October 1st.
2 And again, these are tentative dates subject to
3 discussion between CEC and CPUC. In this tentative
4 scheme, we think that CPUC would provide an approval
5 sometime around spring of 2022 and we would start the
6 solicitations in the fall.

7 So, the next slide, please. So, the areas that
8 you can comment on, if you feel like some of the
9 research issues that have come up today are important or
10 are for EPIC, we certainly have the project that we
11 talked about, which is the Role of Green Hydrogen in a
12 Decarbonized California, a Roadmap and Strategic Plan.

13 And then, several other hydrogen technology and
14 development and demonstration projects that are being
15 done by all the different offices in the Energy Research
16 and Development Department.

17 So, there's also ongoing Natural Gas Research
18 Program and there's some funding before the California
19 Legislature. Some has been granted already, and some is
20 still under consideration that would help further
21 research as well.

22 So, if you have comments and you make them, they
23 can go into any of these different areas.

24 The very last slide that will be presented under
25 closing comments describes how to submit comments under

1 the IEPR. And if you submit comments under IEPR that
2 are relevant to research, they'll be routed to us under
3 EPIC. Or, if you want to go to the August 4th EPIC
4 workshop, you can submit comments there as well.

5 So, that's really it. We wanted just to bring
6 to your attention this parallel process, especially
7 since the EPIC submission is getting ready to come to
8 closure in the next several weeks and that will
9 essentially map out the next four years of research for
10 us. Thank you.

11 Back to you for public comments.

12 MS. RAITT: Great. Actually, Raquel, could you
13 move to the 1.5 minute timer, please.

14 And Dorothy Murimi is -- this Heather. And
15 Dorothy Murimi is going to moderate the public comments
16 for us. She's from the Public Advisor's Office. So, go
17 ahead, Dorothy.

18 MS. MURIMI: Thank you, Heather.

19 So, just a few instructions for folks. If
20 you're on Zoom, use the raise hand feature. It looks
21 like a tripod. And if you're on the phone, press *9 to
22 raise your hand. We'll be having commenters --
23 apologies here.

24 One person per organization may comment and
25 comments are limited to 3 minutes per speaker, but the

1 time may be reduced to make room for all who want to
2 speak.

3 So, I'm going to start with folks on Zoom.
4 Apologies, comments are one and a half minutes per
5 speaker.

6 So, we're going to start with V John White.
7 Again, that's V John White. You may unmute and begin
8 commenting.

9 MR. WHITE: Thank you very much. Can you hear
10 me?

11 MS. MURIMI: Yes, I can.

12 MR. WHITE: I'm John White from the Center for
13 Efficiency and Renewable Technologies. I wish I had a
14 little longer, but I'll do my best to be short.

15 I want to stress the need for independent
16 definitive feedstock lifecycle costs and end-use
17 emission analysis. There's a lot of claims being made
18 and we need somebody to help us understand what's true
19 and what's wished for. And that includes tracking and
20 reporting.

21 I think there's going to be a lot of claims made
22 about green hydrogen that are going to need to be
23 verified. Also, ARB needs to tighten up their
24 definition of eligible renewable natural gas so that we
25 don't give the same credit to the out-of-state landfill

1 projects that we've been doing under cap and trade.

2 I also think -- I have 50,000 miles of personal
3 experience driving light-duty hydrogen vehicles. And I
4 think we need to do a much better job of not just
5 expanding stations, but the reliability of the supply.
6 I think the out-of-state suppliers are much less
7 reliable than they should be, and I think we should be
8 looking to expand distributed electrolytic hydrogen
9 production.

10 Also, I think we need to understand that the SMR
11 hydrogen from out-of-state is really not the platform we
12 want to build on.

13 Also need to look at hydrogen leakage in
14 transport and production. I would also be cautious
15 about the expanded reliance on the natural gas pipeline
16 system and the hydrogen blending because we don't want
17 to lock in the existing natural gas distribution and
18 pipeline system when we're trying to phase out the use
19 of natural gas in California.

20 Aliso Canyon, for example, needs to have half
21 the industrial demand or half the demand for gas in
22 Southern California to be reduced if we're going to be
23 able to close it. So, we need to connect all these
24 dots.

25 I appreciate the Commission's fine work in this

1 area and we'll be making written comments.

2 MS. MURIMI: Thank you, John White.

3 Next, we'll have Bruce Applegate. Bruce
4 Applegate, you may unmute and state your comments.

5 MR. APPLGATE: Thank you. This is Bruce
6 Applegate. I'm the Associate Director at Scripps
7 Institution of Oceanography at the University of
8 California, San Diego.

9 I'd like to focus everybody's attention, now,
10 offshore of California's coasts to the deep blue sea and
11 share some exciting news. And that the final 2021-2022
12 state budget included \$35 million for the UC San Diego
13 Scripps Institution of Oceanography to design and build
14 a first of its kind hydrogen hybrid research vessel.

15 This is based on a conceptual design that's the
16 outcome of about four years' of feasibility studies that
17 we did in partnership with Sandia National Labs, and
18 others. And our concept is for a hydrogen fuel cell
19 system to be integrated with a conventional diesel
20 electric propulsion system on an operational research
21 vessel.

22 And our goal is to carry enough hydrogen so that
23 we can conduct 75 percent of all the ship's missions
24 entirely as a zero emission ship. The ship that we're
25 aiming to replace is our smallest vessel, Robert Gordon

1 Sproul, which focuses its work in the bays' and
2 coastlines' nearshore areas in San Diego, Southern and
3 Central California.

4 So, this is a vessel that has a very high
5 visibility. We carry hundreds of students and
6 researchers from across the University of California
7 every year. Furthermore, Scripps, as a world leader in
8 oceanography is recognized for its leadership in ocean
9 research vessels. This will be a very visible platform
10 and a great way to demonstrate maritime hydrogen.

11 Thank you very much.

12 MS. MURIMI: Thank you, Bruce.

13 Next, we have Karin Sung. Apologies if I
14 misstated your name. Please unmute and state your name,
15 and give your comments.

16 MS. SUNG: Hi. Thank you, everyone. My name is
17 Karin Sung with the CPUC. I would just like to make a
18 small correction to what was stated earlier. The CPUC
19 does have a proceeding that's open that is considering
20 hydrogen injection into natural gas pipelines. It's the
21 same proceeding that is considering biomethane. It's
22 scoped into phase 4. So, phase 4-A is SB 1440
23 biomethane procurement and phase 4-B is hydrogen
24 blending into our pipelines.

25 Additionally, SoCalGas had originally submitted

1 an application to pilot hydrogen injection into a small
2 test run. That application has been dismissed, only
3 because there was insufficient detail and they have been
4 instructed to reapply.

5 And so, there are efforts being made at the CPUC
6 to provide hydrogen transportation through existing
7 infrastructure. That's all. Thank you very much.

8 MS. MURIMI: Thank you, Karin.

9 Next we have Yuri Freedman. That's Yuri
10 Freedman. Yuri, you may unmute your line, state your
11 name and give your comments.

12 MR. FREEDMAN: Hi. Good afternoon, this is Yuri
13 Freedman at SoCalGas. Can you all hear me?

14 MS. MURIMI: Yes, we can.

15 MR. FREEDMAN: Thank you. So, first I'd like to
16 thank all the panelists for their exciting and real
17 informative presentations. And I want to say we do
18 appreciate the efforts that the Commission has taken
19 exploring the potential of green hydrogen in California.

20 We at SoCalGas share the view that hydrogen is
21 well-positioned to enable decarbonization due to it is
22 complementary with renewables, as so well articulated by
23 Professor Brouwer, and the potential of its broad
24 deployment across the range of end uses, as laid out by
25 distinguished panelists Dr. Nelson, Venkat, Eric and

1 Stephan.

2 Many participants of today's workshop discussed
3 pathways to lowering costs of clean hydrogen production.
4 I'd like to say it's really important to recognize the
5 current cost of transporting hydrogen to its end use is
6 a large and often larger part of overall cost to the
7 customer.

8 And with that in mind, work on reducing these
9 costs and developing cost effective and scalable
10 hydrogen transportation solutions to proceed in parallel
11 with efforts when reducing hydrogen production costs if
12 we are to achieve rapid and broad hydrogen adoption.

13 As just one illustration of the potential in
14 this area is the recently issued European Hydrogen
15 Backbone Report, which I have placed in the chat box,
16 where they concluded that almost 70 percent of the
17 continent-wide hydrogen network could be built by using
18 repurposed gas pipelines.

19 So, we think it's really, really important to
20 advance in this area, to do more demonstration projects.

21 As Karin mentioned, we are going to work on
22 resubmitting our application in a more robust way. Very
23 much looking to go over it with the Energy Commission in
24 this area. Thank you for the opportunity.

25 MS. MURIMI: Apologies, Yuri. Oh, thank you,

1 Yuri.

2 Next, we have Issam Najm. Apologies if I've
3 stated your name wrong. Please restate your name and
4 you may begin your comment.

5 MR. NAJM: Thank you. My name is Issam Najm and
6 I am a resident of Porter Ranch, which is in the City of
7 Los Angeles. And we are the community that has been
8 dealing with the Aliso Canyon Gas Storage Facility.

9 And listening to Dr. Brouwer and others, there's
10 this idea that we should convert the methane storage
11 infrastructure to hydrogen, as we just also heard from
12 the gentleman from SoCalGas.

13 I ask the CEC to recognize that storing hydrogen
14 in existing gas storage facilities located in urban
15 areas does nothing to relieve the surrounding
16 communities from the dangerous health effects of these
17 facilities.

18 Because the issue is not what gas is stored in
19 it, but rather the crude oil that comes out with it,
20 whenever it's pulled out of the field.

21 So, while we wish these were salt caverns, they
22 are not. And the crude oil is the problem, it is not
23 the gas. Thank you.

24 MS. MURIMI: Thank you for your comment, Mr.
25 Najm.

1 Next we have William Zobel. William Zobel, your
2 line is unmuted. You may state your name and begin your
3 comment.

4 MR. ZOBEL: Yes, good afternoon. Hopefully, you
5 can hear me.

6 MS. MURIMI: Yes, we can.

7 MR. ZOBEL: My name is Bill Zobel. I'm the
8 Executive Director of the California Hydrogen Business
9 Council representing over 120 members involved in the
10 commercialization of hydrogen and fuel cell technology.

11 Thanks for the opportunity to comment this
12 afternoon. Excellent panel today, or this afternoon I
13 should say. We participated in this morning's panel as
14 well, where our comments focused on the carbon intensity
15 of various hydrogen production pathways as a way to
16 characterize that hydrogen produced versus the color
17 wheel, which has been described by so many panelists
18 today.

19 This afternoon I wanted to talk a bit more about
20 some of the comments that were made by Dr. Brouwer and
21 others relative to wholesale market access for
22 electrolytic hydrogen producers.

23 As we know, in California the jurisdictions are
24 focused on the production and use of green electrolytic
25 hydrogen through these carbon emissions and improve air

1 quality.

2 As we heard today the number one cost, the
3 number one cost of producing this form of hydrogen is
4 the cost of electricity. The CHBC would recommend that
5 policymakers strongly consider allowing electrolytic
6 hydrogen producers access to the wholesale electric
7 markets, as was recommended by Dr. Brouwer and others on
8 the panel today.

9 Policymakers should understand that this access
10 for electrolyzers is not a handout. This comes at no
11 cost to the state, at no cost to ratepayers. Cost
12 causal tariff design will ensure this. Done right, it
13 creates a commercially workable production pathway for
14 low cost green hydrogen. Putting this in place will
15 also make better use of renewable resources, reduce
16 renewable power curtailment, support grid operations as
17 Dr. Brouwer opined on, and provide project developers
18 additional certainty required to make these investments.

19 Our time is limited, so I won't go on. But we
20 do have some language to share with policymakers and
21 we'll work on setting that up, some briefings with those
22 on the dais today in the future. So, thank you very
23 much.

24 MS. MURIMI: Thank you, William.

25 Next we have David Park. David Park, your line

1 is unmuted, you may state your name and begin your
2 comments.

3 MR. PARK: Good afternoon and thank you very
4 much. And my name's David Park. I am the -- I'm with
5 the California Fuel Cell Partnership. My function there
6 is as the industry representative or industry
7 coordinator for our members.

8 And good afternoon Commissioners and
9 distinguished panel. I commend the holistic coverage of
10 hydrogen production and the economy development this
11 morning and this afternoon.

12 I just wanted to point out one detail and fact
13 on the retail cost of hydrogen. And I just want to
14 inform the panel that the retail price of hydrogen is on
15 a downward trend. In fact yesterday, I was fueling at
16 the Fountain Valley Station, which is one of the newest
17 high capacity liquid hydrogen storage stations in the
18 network. It has four fueling positions and about 1,200
19 kilograms per day storage. And, therefore, the price of
20 hydrogen is at \$13.05 as of yesterday.

21 The different in price across the network is due
22 to the capital cost of development and then the
23 operating costs that the developers have to make up.
24 And so, we do indeed see a broad span of costs across
25 the state on the retail price. But indeed, the price,

1 the retail price of hydrogen is coming down.

2 I would invite the Commissioners and our
3 colleagues to come visit the stations. As the
4 California Fuel Cell Partnership, we'd be happy to
5 facilitate the tour. And we do work in partnership with
6 the Governor's Office of Economic Development and AIR.

7 Thanks very much and appreciate your time.

8 MS. MURIMI: Thank you, David.

9 Next we have Mikhael "Mik" Skvarla. Your line
10 is unmute. Apologies if I misstated your name. Please
11 state your name, unmute and begin your comment.

12 MR. SKVARLA: No problem. Mikhael Skvarla, here
13 on behalf of the California Hydrogen Coalition. I just
14 wanted to thank the Commissioners and staff for hosting
15 this workshop. I think it's been a long time coming and
16 this has been great to have a dedicated multi-session
17 discussion about hydrogen and the hydrogen end uses.

18 The broad conversation today was about enabling
19 policies and we'll follow up with written comments. I
20 just want to reflect the comments made by Bill Zobel,
21 the access to wholesale markets are absolutely vital for
22 us to achieve pricing in and around what the Department
23 of Energy's Earthshot is. You know, the Energy
24 Commission and CPUC can help us work through those
25 policy things and if legislation's needed, we're

1 absolutely standing ready to move that and would be
2 partners with whoever wants to take that step.

3 I just wanted to also talk real quick about
4 another enabling policy that would go a long ways,
5 obviously pipeline injection.

6 But then today we have commercial end uses that
7 are readily available being made by two of the largest
8 car manufacturers with regards to sales in the State of
9 California. Combined with a third, they represent over
10 a third of all vehicle sales in the State of California.
11 And they've brought fuel cell electric vehicles to
12 market that are readily available today.

13 The need to expand and dedicate an effort to
14 building out the full market to self-sufficiency is
15 absolutely vital and important. This needs dedicated
16 funds that are keyed for hydrogen, and not technology
17 neutral, as that's not an investible signal to our
18 station developers or the investors of those companies.

19 So, to the extent that as we look at the AB 8
20 reauthorization that we can dedicate funds again towards
21 hydrogen medium-, light- and heavy-duty to build an
22 entire statewide network to self-sufficiency, that would
23 be appreciated. Thank you.

24 MS. MURIMI: Thank you, Mikhael.

25 Just a quick announcement. Again, for people

1 that are on the phone line only, you may press *9 to
2 indicate --

3 MR. SKVARLA: Five seconds over.

4 MS. MURIMI: Again, for folks that are on the
5 phone line, you may press *9 to indicate that you'd like
6 to make a comment. And anyone else that is on Zoom, use
7 the raise hand feature to raise your hand. We'll give
8 that one more moment.

9 Seeing no other commenters, Commissioner
10 McAllister, I'll hand the virtual mic back to you.

11 COMMISSIONER MCALLISTER: Thank you, Dorothy.
12 And thanks for all the commenters who were here today.
13 And thanks to everyone who's remaining. We still have
14 150 or so people, so kudos to those who stuck it out to
15 the end of the day.

16 We saw a lot of great speakers today and heard a
17 lot of great ideas, so really, really heartening to have
18 this relatively deep discussion.

19 Let's see, we still have -- oh, there, we still
20 have great presence on the dais. Let's see, Heather,
21 should we go to just wrap up comments from each
22 Commissioner?

23 MS. RAITT: Yeah. Yeah, we ought to do that,
24 thanks.

25 COMMISSIONER MCALLISTER: Okay, great. Well, I

1 guess I just will go very, very briefly. I just -- I
2 think there's a chicken and egg problem that we all sort
3 of expressed, that all the speakers kind of expressed in
4 one way or another. And I think as we do that cycle and
5 keep building, we'll see really how large this ecosystem
6 and how targeted on the things we're talking about it
7 can be.

8 And, you know, giving it some rigor along the
9 way and helping it with policy, but also expecting
10 accountability. I think that was kind of the tenor, I
11 think, and a fair amount of optimism around those
12 points.

13 In particular, you know, SB 100 modeling does
14 need, as I think Le-Quyen said on Commissioner Gunda's
15 behalf at the very beginning, you know, it does need
16 clean firm power, and hydrogen is obviously a contender
17 for that. And so, really fleshing that out and what
18 that might look like was sort of implicitly a lot of the
19 conversation today.

20 Really looking forward to collaboration across
21 agencies on this issue. Commissioner Houck, thank you
22 for being here for the whole day.

23 And one big venue for collaboration between our
24 two Commissioners is the EPIC Program and I think that's
25 a huge just gem of a program for the state. It's really

1 that the team, Laurie ten Hope's team and the whole EPIC
2 team, I just want to call them out for a lot of the R&D
3 that they're already funding.

4 But one skill set that I think we've developed
5 very well is being able to understand which are the
6 really key topics that need a good look for the state,
7 and some funding and some support for all the different
8 pieces of our clean energy transition.

9 And so, I think there's much more to come here,
10 particularly if and when the Legislature pushes some
11 funding towards this.

12 And then also, just finally, I want to just call
13 out by name David Erne, and then the whole team at EAD
14 for putting this workshop together. And Commissioner
15 Douglas and your office, and all the team in EPIC and
16 EAD both. Thanks for putting together a great day, it's
17 been very interesting. I agree.

18 And with that, I'll push it over to Commissioner
19 Douglas for some wrap-up comments.

20 COMMISSIONER DOUGLAS: Thank you, Commissioner
21 McAllister. And I'll be very brief. I thought it was a
22 really great and a really informative workshop. And you
23 can see just there's so much going on the space, and so
24 much to learn, and incorporate in our thinking. And it
25 is a very fast moving and cutting edge field.

1 And so, I learned a lot today. I really
2 appreciate the speakers and, of course, everyone who
3 worked hard to pull this workshop together. And I look
4 forward to continuing to move forward on this and
5 continuing to learn more. And as you said, Commissioner
6 McAllister, you know, build our knowledge that feeds
7 into the SB 100 Report, and any number of other areas as
8 well.

9 So, I think with that I'll pass this on.

10 COMMISSIONER MCALLISTER: How about we go to
11 Commissioner Monahan, and then Commissioner Houck, and
12 then Matt Baker. Does that sound good? All right.

13 COMMISSIONER MONAHAN: Yeah, I really learned a
14 lot today. It was a very exciting conversation. I
15 think, you know, as we started the day like we looked
16 upon hydrogen in kind of this narrow band of activities,
17 and now it's this whole expansive ecosystem that we're
18 learning about. And, you know, we're behind the EU in
19 some aspects, we're ahead in other aspects. And so, you
20 know, California, we want to be at the lead, we want to
21 always be at the cutting edge. So, this was a really
22 important grounding discussion for helping accelerate
23 our investments in hydrogen.

24 And one last thing, I mean I don't see how we
25 reach 2050 targets without it. We just will need a

1 diversity of low and zero carbon fuels to be able to do
2 it. And hydrogen is part of that portfolio, and
3 especially some of these very hard-to-decarbonize
4 sectors that seem really optimal for hydrogen.

5 COMMISSIONER MCALLISTER: Okay.

6 COMMISSIONER HOUCK: Okay, I wasn't sure.

7 COMMISSIONER MCALLISTER: Sorry. Sorry.

8 COMMISSIONER HOUCK: But today was very
9 informative. I appreciate being able to participate in
10 this event and want to thank all of the Energy
11 Commissioners, the staff, and the EPIC team and those
12 that put the workshop together, the panelists and the
13 participants.

14 I'm looking forward to learning more about
15 hydrogen and how it fits in to where we're going with
16 our clean energy future and what we at the CPUC can do
17 to help do across agency work with the CEC and the
18 Resource Agency on these issues.

19 So, again thank you and I look forward to
20 continuing this discussion with everyone.

21 DEPUTY SECRETARY BAKER: Yeah, I want to thank
22 everyone who helped put this together. And I want to
23 thank all the panelists and all the participants. I
24 think this was a really -- I learned a great deal today.

25 And I will just add that, you know, onto

1 something Commissioner Monahan said which is, you know,
2 California has been a leader in so many areas, I look
3 forward to us being a leader in clean hydrogen, both in
4 the production and the deployment of it to serve our low
5 carbon needs.

6 Thanks everyone.

7 COMMISSIONER MCALLISTER: Well, thanks to all of
8 you, really, for your leadership in your respective
9 areas. And it's nice to see sort of cross-cutting theme
10 that lets us have these conversations together because I
11 think it actually really is stimulating to hear the sort
12 of subject matter expertise of each of the Commissioner
13 officers and all the principals here as well. So, I
14 think having these public conversations, we don't get to
15 do it enough, really, so it is a great platform for that
16 as well. So, happy to be a part of it.

17 With that, I think we are done. I'll pass it
18 back to Heather to maybe put up that slide. There we
19 go. How to submit your e-comments to the docket. We
20 would like to have this by August 11th. And please,
21 there's so much content here, so looking forward to
22 everybody's insights on particularly what the state can
23 do to address any particular barriers, or particularly
24 policies that might help really push this enterprise
25 forward.

1 So, and thanks to David Erne, and Mike
2 Petouhoff, and the whole team across the two divisions
3 again.

4 Okay, Heather, are we finished?

5 MS. RAITT: We are, thank you.

6 COMMISSIONER MCALLISTER: All right. Well,
7 thank you and your team as well. A really great day,
8 appreciate that.

9 MS. RAITT: Have a good night, everybody.

10 COMMISSIONER MCALLISTER: Okay, take care
11 everyone.

12 (Thereupon, the Workshop was adjourned at
13 4:25 p.m.)

14

15

16

17

18

19

20

21

22

23

24


25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 1st day of October, 2021.




ELISE HICKS, IAPRT
CERT**2176

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 1st day of October, 2021.



Barbara Little
Certified Transcriber
AAERT No. CET**D-520