

DOCKETED	
Docket Number:	21-IEPR-05
Project Title:	Natural Gas Outlook and Assessments
TN #:	240009
Document Title:	TRANSCRIPT 8-30-21 for IEPR COMMISSIONER WORKSHOP ON NATURAL GAS MARKET AND DEMAND FORECASTS
Description:	TRANSCRIPT 8.30.21 for IEPR COMMISSIONER WORKSHOP ON NATURAL GAS MARKET AND DEMAND FORECASTS
Filer:	Raquel Kravitz
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	10/7/2021 4:56:34 PM
Docketed Date:	10/7/2021

STATE of CALIFORNIA
CALIFORNIA ENERGY COMMISSION
STAFF WORKSHOP

In the Matter of:) Docket No. 21-IEPR-05
)
)
2021 Integrated Energy Policy)
Report (2021 IEPR))
) Re: Natural Gas Market
) and Demand Forecasts
)
_____)

IEPR COMMISSIONER WORKSHOP
ON NATURAL GAS MARKET AND DEMAND FORECASTS

REMOTE-ACCESS ONLY

MONDAY, AUGUST 30, 2021

1:00 P.M.

Reported by: Elise Hicks

APPEARANCES

COMMISSIONERS PRESENT:

Commissioner J. Andrew McAllister, California Energy
Commission (CEC)
Commissioner Siva Gunda
Commissioner Karen Douglas
Commissioner Patty Monahan
Commissioner Houck, CPUC Commissioner

CEC STAFF PRESENT:

Heather Raitt, CEC

GAS FORECASTS AND LONG-TERM PLANNING OVERVIEW

Melissa Jones, Senior Energy Policy Specialist, CEC

NATURAL GAS MARKET PRESENTATIONS

Anthony Dixon, Lead Natural Gas Market Modeler, CEC
Ryan Ong, Natural Gas Market Modeler, CEC

UTILITY GAS DEMAND FORECAST/METHODOLOGIES PRESENTATIONS

Andrew Klingler, Senior Manager of Rate Architecture and Load
Forecast, PG&E
Todd Peterson, Principal, Energy Analysis and Insights, PG&E
Kurtis Kolnowski, Expert, Energy Analysis and Insights, PG&E
Amy Kouch, Analyst, Resource Forecasting, PG&E
Sharim Chaudhury, Manager, Cost Allocation and Rate Design, SoCalGas
Jeff Huang, Senior Resource Planner, SoCalGas

PUBLIC COMMENT

Mike Florio

INDEX

	Page
1. Call to Order	4
2. Gas Forecasts and Long-Term Planning Overview (Melissa Jones)	9
3. Natural Gas Market Presentations (Anthony Dixon, Ryan Ong)	22
4. Utility Gas Demand Forecast/Methodologies (Andrew Klingler, Todd Peterson, Kurtis Kolnowski, Amy Kouch, Sharim Chaudhury, Jeff Huang)	45
7. Public Comment	86
8. Adjournment	89
Reporter's Certificate	90
Transcriber's Certificate	91

P R O C E E D I N G S

1
2 August 30, 2021

1:01 P.M.

3

4 MS. RAITT: All right. Well, good afternoon,
5 everybody. Welcome to today's IEPR 2021 Commissioner
6 Workshop on Natural Gas Market and Demand Forecasts. I'm
7 Heather Raitt, the Program Manager for Integrated Energy
8 Policy Reports.

9 This workshop is being held remotely consistent with
10 the Directive Order N08-21 to continue to help California
11 respond to, recover from, and mitigate the impacts of the
12 COVID-19 pandemic. The public can participate in the
13 workshop consistent with the direction in the Executive
14 Order. To follow along, the schedule and slide decks have
15 been docketed and are posted on the CEC's website. Just go
16 to the 2020 -- 2021 IEPR webpage to find them.

17 All IEPR workshops are recorded and recording will be
18 linked to the Energy Commission's website shortly following
19 the workshop and a written transcript will be available in
20 about a month.

21 Attendees have an opportunity to participate today in
22 a few different ways. For those joining through the Zoom
23 online platform, the Q&A feature is available for you to
24 submit questions. You may also upvote a question submitted
25 by someone else. Just click on the thumbs up icon to upvote.

1 Questions with the most upvote are moved to the top of the
2 queue.

3 There will be a few minutes near the end of the panel
4 to take questions, but likely will not have time to direct
5 all of the questions submitted. Alternatively, attendees may
6 make comments during the public comment period at the end of
7 the session. Written comments are also welcome and
8 instructions for doing so are in the workshop notice.
9 Written comments are due September 13.

10 And with that, I turn over to Commissioner Andrew
11 McAllister, the lead for 2021 IEPR.

12 Thank you.

13 COMMISSIONER MCALLISTER: Thank you, Heather.

14 Want to just again thank you. We had just a series
15 of very substantive workshops, rapid succession over the last
16 couple of weeks and I just want to express appreciation to
17 you and your staff for just keeping lots of plates spinning
18 and doing such an amazing job keeping the trains running down
19 the tracks because there are lots of them right now.

20 And no more important than this topic which is part
21 of our forecasting track and Commissioner Gunda leads this
22 effort. So I will only speak briefly here and leave the lion
23 share of the time for opening comments to him. But just, you
24 know, I have overseen this in the past, the forecasting, and
25 worked with Mr. Gunda on this for a number of years now. And

1 it is really just -- and before that with Chair Weisenmiller.
2 And it's just the bread and butter of the Commission. It's
3 one of the reasons the Commission was formed and it is no --
4 in all the history of the Energy Commission, I think probably
5 we're at a point where the forecasts are both more important
6 than they've even been and more intertwined between electric
7 and gas than they've ever been.

8 And this is a function of the time we're living in
9 and the goals that we have. And really making sure that
10 we're, I think, being situationally aware and that we're
11 really looking at these issues from all the analytical
12 perspectives that might apply and with historical perspective
13 and with the sort of real time learning that we're doing as a
14 state. And certainly trying to respond to the imperative of
15 reliability and health and safety and equity and just any
16 number, and decarbonization obviously.

17 So with so many -- not competing, so many
18 complementary goals here. We have to get them all right. So
19 the stakes are high on this and I know that we have a really
20 robust staff and very deep bench, really quality
21 professionals, the best there are, doing those analyses and
22 collecting all the information they need to underpin it. So
23 I'm just glad to be here today doing this and taking sort of
24 the next step in the gas demand forecasts.

25 So I would like to just wrap it up there and express

1 my appreciation to all the staff that's been working on this,
2 and EID and then the IEPR team.

3 So over to you, Commissioner Gunda.

4 COMMISSIONER GUNDA: Thank you, Commissioner
5 McAllister. I mean, I would yield all my time to you, as you
6 know. You set the stage always so thoughtfully and then the
7 experience that you carry in these areas. Again, I always
8 like to say this, know it's a pleasure to share the dais with
9 you now, this has been my mentor for several years, and now
10 as a colleague.

11 So with that, I really want to start with thanking
12 Heather and her incredible IEPR team. As usual, I'm really
13 looking forward to the meeting today, to the workshop today.

14 In interest of time, given that we have, you know,
15 some of the panelists need -- have tight deadlines here, are
16 hard stops. I do want to keep my comments brief. Just want
17 to invoke one specific thing that Commissioner McAllister
18 just mentioned which is that forecasting is a core
19 responsibility of the Energy Commission. And, you know, for
20 the last several years, we spend a lot more time as a
21 Commission going through the vetting of our electricity
22 demand forecasts given its importance in the IEPR,
23 transmission funding, and such. And for a long time, the
24 natural gas forecasts has been on kind of an equal of being
25 kind of a study -- study state.

1 But given the importance of the rapid climate goals
2 that we have in terms of electrification, it is important to
3 update and objectives analysis out there that provides, you
4 know, the forecast for natural gas. That could be another
5 data point as the industry double up their own forecast. So
6 I'm incredibly thankful for our natural gas team to
7 reinvigorating the process of the natural gas forecast, both
8 in the short term but also the broader long-term planning
9 scenarios. So it really helps the state with some critical
10 policy decisions and similar to how we do it on the Energy
11 Electricity Demand Forecast, I hope will create a robust
12 stakeholder process where we collectively generate a demand
13 forecast that we all feel comfortable as we pursue the long-
14 term transition to a carbon neutrality and a zero carbon
15 California that is clean and reliable and affordable.

16 So with that, I am, you know, incredibly proud of the
17 work that our gas team is doing, Melissa Jones, Jennifer
18 Compagna, and A.J., Jason, everybody who's going to speak
19 today. Thank you all for your incredible work.

20 With that, I'll pass it on to Heather to commence the
21 very first presentation here unless we have any other
22 commissioners.

23 MS. RAITT: I don't think we've had any commissioners
24 join yet, but. So thank you, Commissioner.

25 This is Heather. I'll go ahead and get it started.

1 So our first presentation is from Melissa Jones, who is the
2 Senior Energy Policy Specialist in the Energy Commission's
3 Assessment Division. And she's going to give us an overview
4 of the day.

5 So thank you, Melissa. Go ahead.

6 MS. JONES: Thanks. Good afternoon, everyone. I am
7 Melissa Jones and I am first been a principal for both
8 electricity and natural gas issues with the Energy
9 Commission's Assessment Division.

10 The goal of today's workshop in the scoping order for
11 the 2021 IEPR, we identified the two primary issues for the
12 gas track. The situational awareness as a merging topic for
13 natural gas system planning. And then refinement and
14 development of critical analytical product that will be
15 necessary for gas planning in the state.

16 Today's workshop is going to focus on gas market and
17 demand forecast topics. I will present an overview of
18 historic gas prices, rates, demands, and talk about forecast
19 improvements that we're planning to make. Anthony Dixon, AJ,
20 will be providing an overview of our natural gas price and
21 rates forecast. And Ryan Ong, who is our newest member, will
22 be talking about the burner tip price forecast and electric
23 generation in the west. And then to cap off the afternoon,
24 the two gas utilities will be presenting their gas demand
25 forecasts and we're looking forward to that.

1 I should also mention that the -- that we've had a
2 number of workshops on natural gas. We have three more topics
3 that are going to be viewed in workshop. Tomorrow we're
4 having a workshop on renewable natural gas, and then later in
5 the process, December timeframe, we will be talking about
6 long-term demand scenarios and the gas demand forecast.

7 So the CEC presents forecasts. We do forecasting
8 assessments under the Warren Alquist Act which directs us to
9 forecast natural gas demands, supply, transportation, price,
10 rates, reliability, and efficiency. And we do this to
11 identify impacts on public health and safety, the economy,
12 energy diversity, resources, and the environment. And the
13 other thing the Energy Commission is charged with is to
14 identify emerging trends and impending or potential problems
15 or uncertainties in the electricity and natural gas markets
16 and in the industry as well.

17 Next slide, please.

18 So the Energy Commission's forecast is used -- our
19 numerous forecasts are used in a number of different areas.
20 The forecasts feed into the California Energy Demand
21 Forecast, our natural gas price fits into that. Our natural
22 gas prices and demand also are inputs into the CEC's PLEXOS
23 modeling for production cost modeling of the electricity
24 system. The CPUC uses price -- our prices in integrated
25 resource planning. The CAISO uses some of forecast in

1 transmission planning. WECC uses some of our forecast in
2 production cost modeling and in their policy and planning.
3 The Northwest Power and Conservation Council uses our
4 forecasting in policy and planning. And then the California
5 Gas Report, some of the utilities use our price forecasts as
6 an input to their forecasting activity.

7 Next slide, please.

8 This year we have focused on a number of improvements
9 in the gas forecasts. This is to follow up on
10 recommendations made in the 2019 IEPR for us to expand our
11 analytical capabilities. The CEC develops its commodity
12 price, gas price, using a North American Gas Market model
13 called NAMGas which captures the entire North American gas
14 market which is a continent-wide market. The CEC made a
15 major effort this time to expand the model from an annual
16 model to a monthly forecast. This allows us to better
17 capture seasonality and demand changes.

18 The CEC is using a new model that was developed by
19 Aspen. Katie Elder developed a model to forecast rates so we
20 can better incorporate revenue requirements and other factors
21 in our rate forecasts.

22 We've also made a number of improvements to the
23 Burner Tip Price forecast. And the Burner Tip Price is the
24 price that is used in PLEXOS as a proxy for natural gas costs
25 or natural gas prices. We developed a model that better

1 reflects price formation in the gas market. We realigned the
2 transportation rate from what used to be called proxy hubs
3 which were places that were near where power plants were
4 located. But they weren't actual market hubs, meaning that
5 they weren't liquid trading points so we've reoriented that
6 model to now reflect actual market hubs.

7 And then we have gone through a process of
8 identifying improvements that will be needed to gas demand
9 forecasts to facilitate long-term planning. I'll also be
10 talking about that.

11 I should say that in the IEPR, electricity issues are
12 usually front and center. We're trying to put more emphasis
13 on natural gas and so part of what we're doing in these
14 overview presentations is trying to familiarize people with
15 natural gas issues, those who aren't familiar with it.

16 Next slide, please.

17 So in terms of gas supply trends, California gets
18 about 90 percent of its gas from out of state from supplies
19 that is 1,000 miles or more away from the state. Of that 90
20 percent, about 20 percent of it comes from Alberta, Canada
21 and it comes into California via Gas Transmission Northwest
22 pipeline. We get about 30 percent of our supplies from
23 southern Wyoming via the Ruby pipeline and the Kern River
24 pipeline. We get 40 percent of our gas from the San Juan
25 Basin, that's the northwest New Mexico area and that is

1 transported via El Paso Natural Gas and Transwestern
2 pipeline. And then we get about 10 percent from the Permian
3 Basin which is both west Texas and southeast New Mexico
4 areas. And that also comes in via El Paso and Transwestern
5 pipeline. The other 10 percent of our supplies comes from
6 in-state production and that production has been slowly
7 declining since the 1980s and it's anticipated to continue to
8 decline.

9 Next slide, please.

10 Oh, I should say one more thing. So PG&E generally
11 is more reliant on Canadian gas and SoCalGas relies more on
12 Rockies and San Juan gas.

13 Next slide, please. Gas prices.

14 So this graph shows volume weight rated Citygate
15 prices, average annual prices. And what you can see from
16 this is that California's prices have tracked of the U.S. and
17 it's actually been lower except during the 2001 -- 2000-2001
18 energy crisis. They're fairly close to the U.S. I think
19 there's an impression that California pays more for gas but
20 this is the situation. And what you can see here is that
21 since -- from the 1980s to about 2000, we had low fairly
22 stable gas prices in the state.

23 Starting in 2000 with the energy crisis, we had a big
24 peak in gas prices. FERC [Federal Energy Regulatory
25 Commission] investigated the market at that time and

1 discovered that there had been widespread market manipulation
2 which was the source of most of the price increases. And
3 California did recover about a billion dollars from gas
4 companies for this market manipulation. So gas prices
5 settled down a little bit after the crises and then in 2004,
6 they started to rapidly increase again. And by 2006, they
7 are very high. The peak was actually in 2010. And the reason
8 for this large increase in prices was basically competition
9 for what were declining production from traditional supply
10 basins.

11 At the time, we were looking at gas prices in the 14
12 to \$20 range and so LNG imports became the focus of the
13 natural gas market in the United States. Numerous facilities
14 were constructed on the Gulf Coast and on the East Coast.
15 There were some that were purposed to be built up the
16 California coast, however, none of those moved forward. But
17 Sempra did develop its Costal Azul an LNG facility in Mexico.

18 And then starting in about 2000, shale gas began
19 production. So there were very rapid increases in technology
20 development combining hydraulic factoring with horizontal
21 drilling which produced a lot of gas. Starting in 2000,
22 about one percent of the gas produced in the United States
23 was from fracking. By 2010, it was over 20 percent and the
24 Energy Information Administration [EIA] predicts that by
25 2035, shale gas will constitute about 46 percent of all gas

1 produced in the United States. And since 1984 when we were
2 on that importer, we have now have moved to an exporter of
3 gas.

4 And then we saw that Citygate prices, you know, were
5 quite a bit lower, but we have seen some spikes in supply and
6 I can talk about those more as we move through.

7 And then, next slide, please.

8 So this slide shows a Henry Hub prices versus
9 California Border prices. And Henry Hub is a national
10 benchmark for pricing in the North American market. And what
11 you see here is there's a very tight correlation between
12 Henry Hub and the Border prices in California. There was a
13 slight divergence starting in 2016. And at that point there
14 was excess Permian gas production which caused prices in the
15 San Juan basin to also drop which led to PG&E southern border
16 prices to fall. And then the SoCal Border prices did not
17 fall as much. And during that period we had the Aliso Canyon
18 leak and then we had pipeline outages which did contribute to
19 gas spikes in the state.

20 Next slide, please.

21 In terms of recent Citygate prices and rates in
22 California, the Citygate prices we also see a divergence
23 between Southern California and Northern California PG&E
24 Citygate. Largely this was due to pipeline outages. You can
25 see there's a divergence in 2016 but the price didn't really

1 diverge until -- and that was right when the leak had begun.
2 The prices didn't really begin to diverge until about 2018
3 when we did have major pipeline outages on the SoCalGas
4 system.

5 In terms of rates, residential rates are the highest
6 rates and they have increased the most at about 4 percent per
7 year. And the reason was the prices or the rates are higher
8 for residential is because residential heating demand drive
9 the need for infrastructure and as such much more of the
10 costs of the natural gas system is allocated to residential
11 and commercial customers. You can see here that commercial
12 rates increased at about 2 percent. Industrial rates
13 increased at about 1.4 percent. And electric generation
14 rates actually decreased over that period, a little bit below
15 2 percent per year, except during that period when we had the
16 spike in Citygate prices in 2018.

17 We do think that with increasing electric generation
18 demand, at least daily draws on the natural gas systems that
19 due to the daily ramping to meet renewable integration needs
20 that that's going to change the use of the gas system and it
21 may change the allocation of costs amongst these different
22 ratepayer classes.

23 Next slide, please.

24 So in terms of total gas by total energy consumption
25 in the state, natural gas actually counts for 28 percent of

1 our energy consumption. And in Btu equivalent, that's more
2 gas -- that's more gas that's used in the state than gasoline
3 in the transportation sector. And I just pulled this slide
4 up a couple of days ago and kind of shocked to see that we
5 use as much natural gas as we do. And natural gas is a
6 dominant source for building, space, and water heating and
7 for industrial feedstock and fuel. And then it is the
8 dominant source on the electricity system.

9 Next slide, please.

10 So in terms of recent California gas demands, gas
11 demands have been declining since 2012, '13. You'll see
12 that there's a lot of variation from year to year in gas
13 demands. Weather plays a big role in both residential and
14 commercial demands because it is for heating and it also
15 plays a big part in electric generation. And in addition to
16 weather during drought conditions, natural gas has been the
17 swing supply on the electricity system in California. We
18 have seen renewable integration needs increasing for electric
19 generation demands. Overall annual consumption of gas has
20 decreased, but these daily spikes are something that we're
21 looking about -- looking towards and trying to plan around as
22 we move forward.

23 So I'm now going to shift, next slide, to the gas
24 demand forecast.

25 So this Energy Commission has long produced a gas

1 demand forecast as part of its California Energy Demand.
2 This is done every odd year. With the increased focus on
3 long-term gas planning, the Energy Commission does recognize
4 the need for new and different uses of our forecast and so we
5 have been looking at what kinds of improvements we can make.
6 In the 2021 IEPR, this is the first time that the Energy
7 Commission collected what are called forms and instructions
8 that contain the detailed inputs and assumptions for the
9 utilities' demand forecasts, and they detailed the cost
10 information that is used to calculate the rate. We have done
11 this for a number of years on the electricity side and just
12 initiated this process on the gas side.

13 And then earlier this spring, we did engage our
14 expert panel which is composed of recognized experts in the
15 fields of energy forecasting and modeling to review our
16 forecast and make some recommendations about improvements.
17 Our expert panel is made up of these experts. We had James
18 McMann who's the former head of Energy Analysis in LBNL
19 [Lawrence Berkeley National Laboratory] and he's an energy
20 forecasting expert.

21 We have Hill Huntington who's the Executive Director
22 of the Energy Modeling Forum from Stanford. And then we also
23 have Alan Sanstad who's formerly with LBNL and currently with
24 the National Science Foundation Center for Robust Decision
25 Making, Modeling, and Climate.

1 Next slide, please.

2 So the expert panel gave us the Good Housekeeping
3 seal of approval for our forecast. They found the forecast
4 methodology is reasonable. They noted that the natural gas
5 demand forecast uses the same methodology as for electricity,
6 and they have previously reviewed our electricity forecast.
7 In addition, they have reviewed our transportation forecast.

8 They did note that the forecast should continue its
9 formal tie to the electricity forecast. They believed that
10 this is increasingly important especially with the
11 anticipated acceleration of electrification in residential
12 and commercial buildings in California. And then the other
13 major recommendation is that we needed to improve the
14 transparency of our forecast through stakeholder engagement.
15 We should do better model documentation and we should make
16 the model code more accessible and replicable so others
17 understand our forecast.

18 Next slide, please.

19 So they identified a number of near-term
20 improvements. The vetting and making the forecast results
21 transparent. We use what's called the Demand Analysis
22 Working Group for our electricity forecast as well as the
23 transportation forecast. They recommended that we begin to
24 do that for our gas forecast.

25 They also recommended that we translate the

1 residential and commercial end-use models to modern platform.
2 They want us to incorporate the most recent surveys, the
3 Residential Appliance Survey and the Commercial End-Use
4 Survey into the forecast. And they suggest we re-examine the
5 econometric specifications as a natural gas model and re-
6 estimate the equation that are routinely updated with new
7 data. They have recommended that we break out into separate
8 planning area. The gas deliveries by interstate, they go
9 directly to end-use customers in California in addition to
10 the two major gas utilities, PG&E and SoCalGas.

11 And then they have recommended greater collaboration
12 within our own assessment division so that we can discover
13 and correct data errors or misinterpretations, excuse me, and
14 be able to identify industry changes.

15 Next slide, please.

16 In terms of midterm improvements, they have
17 recommended that we develop approaches for forecasting under
18 different weather conditions. We do average conditions now
19 and we do an average annual demand forecast.

20 In the gas planning world, 1 in 10 condition, 1 in
21 35, and 1 in 90 are conditions that are used for basing
22 reliability standards so it's important for us to have a
23 forecast that can be used in that arena. They've asked us to
24 craft usable, simple models to calculate natural gas
25 transportation rates that logically escalate and that with

1 expand over time and I mentioned earlier and will be talked
2 about more this afternoon. We do have our natural gas
3 transportation rate model and we have developed it so it can
4 expand in the future.

5 They have recommended that we continue to issue and
6 expand our forms and instructions to collect forecast
7 information in future years. They have recommend --

8 COMMISSIONER GUNDA: Melissa.

9 MS. JONES: Yes.

10 COMMISSIONER GUNDA: Excuse me. I apologize to
11 interrupt you there. I think we are one slide behind. I
12 think we should move forward another slide. Yeah, thank you.

13 MS. JONES: Oh, sorry. I have my type in front of me
14 so I can't see who is on the screen there. Thank you.

15 So in terms of midterm improvements, I mentioned that
16 forecasting under different weather conditions. We have
17 already started with the natural gas rates model. We're
18 continually to do forms and instructions in the IEPRs. And
19 then they had suggested that we enhance our understanding of
20 industrial end uses, especially those that cannot be
21 electrified.

22 And then finally in terms of long-term gas
23 improvements, forecast improvements, they suggested that we
24 develop a forecast for hot, dry summer conditions. And on
25 our July 9th workshop, we represented some initial thoughts

1 about how to go about looking at summer demands. They're
2 suggesting we develop more granular disaggregation in our
3 forecast so they can be used in hydraulic modeling of a gas
4 system, both geographically and hourly. This is especially
5 important to reflect to the electric generation burn on the
6 system.

7 We'll need to capture climate change impact,
8 temperature, and occurrence of extreme events, both hot and
9 cold. They heat dome and polar vortex type event. Ensure
10 time in the process to iterate back and forth between price
11 and quantity. They suggest that we get daily and hourly gas
12 send out from utilities by customer class. And they
13 recommend that we continue corroboration with utilities in
14 developing more sophisticated forecasting methods
15 corresponding to the new and changing circumstances in the
16 gas market.

17 Next slide.

18 And with that, I think I'm done with my presentation.
19 Thank you for listening this afternoon.

20 MS. RAITT: Thank you so much, Melissa.

21 For our next speaker is Anthony Dixon, or A.J., and
22 he is the lead gas price modeler in the state through the
23 Energy Assessment Division. So Anthony will be covering the
24 CEC preliminary natural gas market results.

25 Go ahead.

1 MR. DIXON: Thank you.

2 MS. RAITT: Thank you.

3 MR. DIXON: All right. So, good afternoon, everyone
4 and Commissioners. I am Anthony Dixon or A.J. I am the lead
5 natural gas market forecaster, and I will be going over our
6 preliminary results for both the NAMGas [North American Gas-
7 Trade Model] model and the new end-use rates and deliver
8 price modeling that we are working on.

9 Next slide, please.

10 So the NAMGas model we've been using for many years.
11 It's a well vetted model using the MarketBuilder platform as
12 a general equilibrium model. Some of the updates to this
13 year's model, of course, we always do North America demands
14 to reflect the current market conditions. We updated the
15 pipeline capacity throughout all of North America including
16 LNG infrastructure and a lot of new information on the
17 natural gas reserves and the costs. And we always vet these
18 out to the public and also internally and with Aspen
19 Environmental.

20 Next slide, please.

21 So the kind of the flow of what goes on with our
22 modeling efforts. The NAMGas model has three major inputs
23 that we work on. Those three are our resource model which
24 works with the capacities and costs associated with
25 production of natural gas throughout North America. We have

1 a small M model which is our demands throughout North
2 America. And there's a caveat with that where we do not use
3 small m model to forecast demand in California and for power
4 gen and the WECC. There's two other inside the Energy
5 Commission that does that modeling that we use their
6 information. And we do infrastructure research.

7 Off from the NAMGas model go directly to the PLEXOS,
8 or they go through a burner tip model and gas rates models
9 and then they get put into the production cost modeling. The
10 rates also go to a delivered rate model which go to our
11 demand forecast and then those go back to us. It's kind of
12 an iterative process that we work out.

13 Next slide, please.

14 NAMGas model in a simplified version, it's supply
15 basins that are connected to interstate and intrastate
16 pipelines which are connected to demand centers. And the
17 model basically calculates equilibrium across all time points
18 across all supply and demand at the same time. And it gives
19 us supply, it gives us production, it gives us flows, and it
20 gives us prices.

21 Next slide, please.

22 So some of the improvements and changes that we did
23 this year, we changed it from an annual model to a monthly
24 model. That gives us a model seasonal demand patterns that
25 we did not have before and also gives us the ability to

1 account for storage, which we never had before. And with so
2 many things dealing with storage, especially here in
3 California, that is a great addition that we'll be able to
4 look into and see the effects on crisis.

5 We have a new resource allocation model. That's our
6 supplies. Usually before we were given just the numbers by
7 consultants and that was what we took so now we actually
8 develop them ourselves. And we did a lot of streamlining
9 with the nodes inside the model to make it more real worldish
10 and also to streamline it and just make the model run a lot a
11 better.

12 Next slide, please.

13 With the corporation with IEPR, we do three common
14 cases, the high demand, mid-demand which is a business as
15 usual kind of case, and a low demand case. We will
16 hopefully, depending on time, be able to do some more
17 sensitivity analysis for the final run so we'll be able to
18 look at a few more things throughout North America.

19 Next slide please.

20 So some of the key assumptions to start the model.
21 These are all kind of references to the model. The model
22 just takes these and when it does its balancing, it will
23 change demands, it'll change prices, depending. Basically
24 for renewables, we make sure that we assume that in all cases
25 that California and all other states have met their RPS

1 targets that they have set.

2 We do a lot of research into these RPS targets for
3 all the states and including Canada and Mexico, if they have
4 any. We use a lot of EIA data, so their update are able to
5 pull North America data. We also, when it comes to data, we
6 also look at things like Canada. We deal their energy
7 information and also Mexico's.

8 Next slide please.

9 And then this slide will show us the demand inputs
10 that we use for California. This is California specific. We
11 do not change these. Basically the numbers are a combination
12 of both the PLEXOS modeling and the California Energy demand
13 forecasts. We just take these numbers, we put them into the
14 model, we turn elasticities off so whatever they give us is
15 what the model will spit out as well. The only thing that
16 changes is the price. We don't model these, we don't change
17 them, we don't do anything, we just take them from the other
18 forecasters.

19 We do do some extra work with the PLEXOS team where
20 we model a few times. Starting this year, this is the first
21 year we have been able to do this. We actually iterated
22 between each other five times, get our results to get a
23 little better equilibrium.

24 Next slide, please.

25 Then to continue on with some resources and their

1 costs, how we change them for each case. One of the big
2 things to kind of notice is the proved and potential
3 resources even in the mid-demand case and this kind of goes
4 into our results later on, is the fact that proved resources
5 keep growing even through we're pulling record production.
6 Last year wasn't record production, but we've been pulling
7 record production every year, usually, and proved in
8 potential resources keep going up. Our technology and what
9 gas we can get to keeps going up and they're able not only to
10 produce more of it, but to produce more of it at lower and
11 lower costs.

12 Next slide, please.

13 So these are our U.S. demand projections that -- from
14 our modeling efforts by customer class and also overall. And
15 they do track very well with EIA's latest annual energy
16 outlook.

17 Next slide, please.

18 So count some preliminary results directly from the
19 model. Henry Hub is one important that we really look at
20 because that is the national benchmark. And as Henry Hub
21 goes, so does the Country and even LNG, that's how they price
22 LNG exports and costs. It's a very important hub, it always
23 has been. It used to be -- before actually, it used to be
24 even more important because so much gas used to flow through
25 that point.

1 We see prices increasing over the timeframe, not a
2 lot. Once again that's because supplies being so high. The
3 one thing we do notice is more seasonality as we go further
4 along into the forecast. And that's as demand kind of
5 increases, puts pressure on pipelines aren't being as
6 expanded as fast, but demand is growing. The pipelines won't
7 run out of capacity, they're just more -- losing more of
8 their slack capacity. And this will cause times of high
9 demands in stresses, especially during the winter to increase
10 prices.

11 Next slide, please.

12 Our supply basins. Melissa talked about our supply
13 basins here in California, from Canada, the Rocky Mountains,
14 the Four Corner regions, and also western Texas through New
15 Mexico, the Permian Basin. Once again, prices will remain
16 relatively low due to low cost of fracking, associated gas
17 production, just once again lots of gas to be produced.

18 To note, you see the higher peaks in the later
19 seasons. It's once again, as demand increases, the winter
20 demand, how the model works, increases more than other
21 seasons so you're going to see those higher spikes later on
22 unless more pipeline, more capacity, more storage, something
23 to mitigate those issues is built.

24 Next slide.

25 So the California border crisis. These are all the

1 major points coming into California compared to the Henry Hub
2 price and they all track right along with Henry Hub. We see
3 Malin being lower that's because they can pull both Rocky and
4 Canadian natural gas, which is lower costs -- low costs and
5 steady supply. PG&E Topock is right along with Henry Hub.
6 SoCal border is above and that's because there are issues
7 along the system. Even though they're after the border, they
8 still affect the prices at the border.

9 Next slide, please.

10 So our prices for the PG&E Citygate, you see them
11 climbing and getting more and more high peaks during the
12 winter. One thing is the high demand case, even though it's
13 a low-cost case, the fact that demand increases so much that
14 the winter spikes cause the annual average to actually
15 increase above the mid-demand case. And this is, once again,
16 barring things like drastic productions, demand or more
17 pipelines or more storage or something to mitigate these
18 issues.

19 Next slide, please.

20 We also see the same phenomenon happening at SoCal
21 Citygate where the high demand case actually reaches the mid-
22 demand case. One thing of note that we noticed in the
23 monthly prices is the fact that we actually start seeing a
24 summer peak for SoCal Citygate prices. And this is actually
25 starting to be seen currently, but more pronounced as the

1 years get later on.

2 Next slide, please.

3 So now we're going to move on to our new model. This
4 is the transportation rates for California.

5 Next slide.

6 So this model is trying to capture is the
7 transportation rate from the border into the Citygate for the
8 different customer classes within California, the
9 residential, commercial, industrial, and including the
10 backbone and local transmission power generators that are
11 connected to these pipelines. That would pay at cost at the
12 border, but they can still pay a transportation rate.

13 Gas utilities only purchase the gas for their core
14 customers. And noncore buy their own gas and then pay either
15 the backbone or local transmission rates or combination to
16 get it to their end use.

17 There's also another component which is delivered
18 price which would take these transportation rates and add
19 them to a commodity price which is produced by NAMGas at the
20 border or at the Citygate hubs. And this is also the same
21 kind of concept that we use in the burner tip model as it's
22 called the burner tip price. That's for the electric gas.

23 Next slide, please.

24 So we use these in our demand forecast, our gas price
25 forecast, the production cost modeling. (Audio cuts out),

1 they're used in the IEPR process, they're used in the PUC.
2 WECC uses these prices, they're really used a lot.

3 Some of the old methodology were just kind of an
4 average way, an average class. We didn't do any separate
5 calculations. We also didn't do any escalation rates. So
6 some of these improvements are to kind of look at those
7 things and to improve upon them.

8 Next slide, please.

9 So this is kind of just a quick breakdown of how
10 these rates come apart. You know, we have our transportation
11 only revenue requirements, separated out by the class revenue
12 requirements for each class to get a spread between the
13 different classes which would be residential, commercial,
14 industrial, and power gen. We escalated the revenue
15 requirements each year and then you basically multiple by
16 those escalation factors and then divide by the forecast and
17 annual demand which is from the 2019 IEPR forecast. And then
18 you end up with a final average rate. That rate has been
19 added on to the burner tip price or the end-use price so we
20 can get a delivered price.

21 Next slide, please.

22 So some of the major factors that drive these rates,
23 of course the revenue requirement and its annual escalator,
24 how much we're changing these prices each year, the class
25 revenue allocation factors and the forecast and demand. So

1 basically kind of think about it if the revenue requirement
2 is held consistent but demand climbs, then rates will
3 increase. If demand -- if demand is held constant but the
4 revenue requirements go up, then prices would increase. What
5 we're kind of looking at here in California that might happen
6 is the fact that the revenue requirement might go up and
7 demand increasing so we will -- should see rates increase.

8 Next slide, please.

9 So this is what we saw with the rates and with our
10 current modeling, our current escalation factors which the
11 escalation factor is 2.3 percent. That's something in the
12 next slide I'll talk a little bit more about.

13 You can see the residential rate increasing the most,
14 especially down in San Diego Gas and Electric, with the
15 industrial, PG&E, kind of holding constant in commercial in
16 between.

17 Next slide, please.

18 So to speak more about the escalation rate, this is
19 one of our things that we really like input from the public
20 and really be able to come to consensus. Currently in the
21 model is 2.3 percent, we can change it to whatever is seen as
22 the best rate. You know, E3 and their work, they have a 6.5
23 percent increase for the state, but theirs is also only
24 residential and across the state as a whole.

25 On average, the last 12 years you see PG&E was

1 increasing about 6 percent, SoCalGas four and a half, San
2 Diego seven and a -- or six and a half. But in the last six
3 years, it's definitely changed, especially for PG&E as a lot
4 of their increasing rates, there's a lot of the San Bruno
5 work and the reliability and safety work that they had done.
6 And now that's going away so it's a big question about what
7 rate we should use and that it's one of the most important
8 factors in the output. It's where we really use some input.

9 Next slide, please.

10 So we kind of go off talking about those revenue
11 rates. We are 2.3 percent. Should we use the 12-year
12 average, should we use a less average? Just something that
13 makes sense and is very -- has some sound logic behind. So
14 how to -- should we change how things change for the
15 allocations between the customer classes. Should residential
16 percentages change, you know, should those change over time
17 and if they do, what would the basis for that be.

18 Next slide, please.

19 Just to kind of go over again about priority, had
20 iterated this, about the delivered price which is the
21 commodity price plus the transportation rate for the
22 different customer classes.

23 And next slide.

24 This kind of -- this will show the results of that
25 for the three utilities. This is the mid-demand case only on

1 annual average. It's key to note that the rates increase
2 about 2 percent per year which is really close to the revenue
3 requirement escalation factor that we had of 2.3 percent.
4 Just kind of reiterates that fact that that's a very
5 important factor in how we change the rates.

6 Next slide, please.

7 And that is all. So thank you very much and I'll
8 turn it back over to Heather.

9 MS. RAITT: Great. Thank you, Anthony.

10 So our next speaker is Ryan Ong. And he is the
11 Natural Gas Market Modeler in the CEC Energy Assessment
12 Division.

13 So go ahead, Ryan.

14 MR. ONG: Good afternoon, everyone. I'm Ryan Ong and
15 I'm the Natural Gas Market Modeler with Supply Analysis
16 Office.

17 Today I'll be giving an overview of the burner tip
18 gas model, discuss changes made to it, and talk about
19 observed results.

20 Next slide, please.

21 So what is the burner tip model? The model estimates
22 delivered natural gas prices for use in electricity
23 production cost modeling, like the PLEXOS model. The burner
24 tip yields prices for PLEXOS's fuel groups through the
25 Western Electricity Coordinating Council region depending on

1 location.

2 To determine the price, the burner tip is in excel
3 workbook that aggregates commodity prices and transportation
4 rates together for hubs. It should be noted that the burner
5 tip only forecasts prices within the WECC. Commodity prices
6 are pulled from NAMGas's monthly price model that covers
7 three IEPR common cases, mid-demand, low demand, and high
8 demand.

9 Commodity priced is simply the natural gas price at
10 any market trading location. Transportation rates involve
11 interstate and intrastate pipelines. Interstate pipelines
12 cross multiple states while intrastate only involves
13 California pipelines. Interstate pipeline rates are
14 determined by pulling a pipeline and utility company's
15 published tariff rates. For California rates, a new
16 transportation rates model was developed for intrastate
17 pipelines. The burner tip uses select rates from this model
18 for hubs linked to PG&E, SoCalGas, and SDG&E.

19 Next slide, please.

20 In taking a deeper dive in the commodity prices and
21 transportation rates within the burner tip, rates are in
22 nominal 2020 dollars per one million British thermal units.
23 Interstate transportation rates are set over a long period of
24 time and no escalation is factored. In addition, the
25 interstate rates is -- are FERC approved rates.

1 California utility transportation of PG&E, SoCalGas,
2 and SDG&E were pulled from the sectorial transportation rate
3 model developed by ASPEN Environmental. Unlike the
4 interstate transportation rates, the California
5 transportation rates vary over the forecast horizon. And as
6 A.J. mentioned, this is because the transportation model
7 accounts for each entity's revenue requirement, CPUC adopted
8 cost allocation, and assumed escalation factor which as A.J.
9 said was 2.3 right now.

10 Next slide, please.

11 In examining the previous burner tip methodology, it
12 was determined that improvements can be made to better
13 reflect the natural gas market. Notable improvements include
14 incorporating NAMGas's new monthly price forecast compared to
15 the previous annual forecast method. Revising market hubs
16 that link to PLEXOS's fuel groups by updating proxy hubs to
17 market hubs in proximity to power plants.

18 The revisions that are identified to liquid trading
19 points where power plants would logically purchase fuel.
20 Resources used include looking at several maps like Energy
21 Information Administration, facility map, and applying
22 logical judgment to define which prices should be applied
23 within the burner tip.

24 We also assessed natural gas delivery flow rates to
25 develop a weighted hub price average to reflects supply

1 options for some location with the use of PointLogic. The
2 transportation rates reflect natural gas flowing through
3 pipelines to electric generators. In some instances,
4 generators receive delivery for more than one market hub.
5 And as mentioned, we update interstate pipeline
6 transportation rates in using newly developed California
7 utility transportation rates model. With these changes, the
8 model better represents price formation in the gas market
9 with the use of market hubs and existing transportation
10 conditions.

11 The burner tip price also captures seasonality within
12 the new monthly NAMGas price forecast compared to a manual
13 static adjustment made within the previous burner tip
14 version. Changes were vetted internally and through ASPEN
15 Environmental.

16 Next slide, please.

17 This table highlights a few changes that were made
18 within the burner tip that better represent market conditions
19 and gas prices that electric generators pay. Changes are
20 broken down by fuel groups, which are groupings of power
21 plants available in the PLEXOS model. One change included
22 going from a Seattle proxy hub and Northwest transportation
23 to a Kingsgate market hub and a gas transmission northwest
24 transportation rate.

25 Other changes involved switching from the Mexico Baja

1 proxy hub to the Ehrenberg market hub, using Sumas hub West
2 Coast Transportation and northwest pipeline instead of a
3 Portland proxy hub and Gas Transmission Northwest, Oregon
4 fuel groups. Or switching from a Las Vegas proxy hub in Opal
5 market hub.

6 A complete list of the changes will be documented,
7 updated in the burner tips website after this workshop. And
8 changes also been noted at the end of this presentation as
9 well.

10 Next slide, please.

11 So what happened when prices -- what happened when we
12 changed methodology for prices? A low -- lower delivery
13 price consisting of commodity prices and transportation rates
14 to electricity generates occurred for all burner tip price
15 locations where revisions were made. This graph shows the
16 difference between the Seattle and Northwest Transportation
17 hub compared to the Kingsgate and Gas Transmission Northwest
18 Transportation market hub.

19 You'll notice the new method's burner tip price, the
20 solid blue line, is lower than the old burner tip method, the
21 dotted orange line. The tables below reflect the commodity
22 price and transportation rate changes that occurred for this
23 hub. The price decrease is largely driven by a lower
24 commodity price that mimics actual market conditions. By
25 changing to the market hub method, most hub prices are

1 lowered when compared in using a proxy hub. It's also
2 important to note, a double counting of transportation rates
3 likely occurred with the proxy method. The updated burner
4 tip eliminated this and caused prices to be lower as well.

5 Next slide, please.

6 So this graph represents an average of all 31 monthly
7 burner tip hub prices throughout the forecast by common cases
8 from 2020 to 2030. So I added up all burner tip monthly
9 prices and divided by 31 hubs to come up with an overall
10 average. You'll notice seasonality is captured with the
11 monthly analysis with demand peaking in the winter and
12 declining in the spring. Prices also steadily increased over
13 the forecast for all common cases. The lower commodity price
14 under the new methodology also resulted in lower starting and
15 ending prices compared to the proxy methodology.

16 Next slide, please.

17 The California's market hubs were matched with the
18 utility transportation rates model based on existing market
19 conditions. Changes include a hub location from Malin and
20 Topock from the PG&E backbone and linking SDG&E to SoCalGas
21 instead of using the proxy hub. For Kern and Mojave and
22 Southern California fuel groups, transportation is included
23 in the market hub price. Kern, Mojave, and SoCal oil
24 production are also now linked to Wheeler Ridge instead of
25 Daggett/Kramer. Southern California oil and gas production

1 also includes PLEXOS's TERO group.

2 Next slide, please.

3 So rates for California also primary decreased
4 because of lower commodity prices. This table just
5 highlights the mid-demand case, but prices moved in the same
6 direction for each burner tip location price, both low and
7 high demand cases as well. Exception, the Central Valley
8 burner tip price increased because it was switched from
9 Daggett/Kramer to Wheeler Ridge.

10 Next slide, please.

11 To summarize, changes in the model resulted in a
12 lower burner tip prices compared to the previous methodology
13 primarily due to lower commodity prices and cleaning up with
14 double counting of transportation rates. Seasonality is also
15 captured within the monthly NAMGas price forecast compared to
16 the manual static adjustment that was made within the
17 previous burner tip. And with these changes, the model
18 better reflects existing market conditions than in the past.

19 Next slide, please.

20 And, again, a list of the changes made to the burner
21 tip can be reviewed at the end of the slide deck. Also the
22 slides will be docketed as well. And thank you for your
23 time.

24 MS. RAITT: This is Heather. Thank you, Anthony and
25 Ryan.

1 Commissioners, we have some time if you have any
2 questions or comments you'd like to make.

3 COMMISSIONER GUNDA: Yeah, thank you, Heather. I
4 just have, I mean I have a few questions, but I think maybe
5 we can just tackle one question from the broader, you know,
6 stakeholders' awareness here.

7 So, Anthony, you kind of talked about the
8 transportation rates and then specifically invited public
9 comment on there that 2.3 percent, I believe, is what you
10 showed us what's what's baked into the forecast right now.

11 I think it's a two-part question. One, how does that
12 impact Ryan's modeling when Ryan talks about the
13 transportation side, is that the same -- same number that
14 we're talking about?

15 MR. DIXON: No. So this 2.3 percent is the revenue
16 escalation to the utilities within California only. We don't
17 escalate any of the rates outside of California for the
18 interstate pipelines. As we've looked into the history and
19 we looked at it, they don't change very much over time.
20 Their system is done differently as they don't do a rate case
21 every two years. Pipelines when they even get built
22 basically commission for 15 to 20 years on fixed prices from
23 suppliers and transportations across their pipelines. And
24 the only time they really change rates is if they're losing a
25 bunch of those contracts at the same time or if they decide

1 to expand the pipeline's capacity or build new lines. So we
2 couldn't find any justifications for changing rates outside
3 of California. And that's all for FERC approved groups.

4 COMMISSIONER GUNDA: That's great. So that's one.

5 So in the second question, thanks for clarifying
6 that. The second question in terms of the 2.3 percent
7 escalation rate that we're using here as a starting point, I
8 believe, as team members where you showed the escalation
9 grade and PG&E being close to 6 percent. So why do we --
10 where is that kind of difference coming from gentlemen. And
11 it looks like the other numbers were kind of from the higher
12 end too. So do we have kind of reasons that we start off at
13 a lower level?

14 MR. DIXON: The 2.3 percent was just the rate of
15 inflation and, like we said, we just kind of developed this
16 model. We got it working, made sure things look realistic
17 and match what's been out there. The 6, little over 6
18 percent that we saw where PG&E was their average in the last
19 12 years, but once again if you only look at the last 6
20 years, they actually had a negative, you know, rate. So
21 that's where we're kind of like justification what should we
22 use?

23 We know in the E3, they used a six and a half
24 percent. Once again, that's only for residential and also
25 the fact that how they kind of computed it with just using

1 the EIA data, that was an average of the border price versus
2 Citygate price so that price includes things like effects of
3 the Aliso or effects of seasonality, doesn't really show the
4 true transportation rate changes. And that's kind of where
5 we wanted to get the input was to really get this more robust
6 and find a good rate that would work.

7 COMMISSIONER GUNDA: Great. So just the high level,
8 who others do the price forecast in California? I mean, you
9 said the, you know, just now for the residential side, and
10 what are any other numbers we might -- that might be used out
11 there? Transportation rates currently.

12 MR. DIXON: Using our rates?

13 COMMISSIONER GUNDA: No, no, no. Just in development
14 of the obvious kind of analysis. Are we seeing any other
15 escalation rates that are currently being used?

16 MR. DIXON: No.

17 COMMISSIONER GUNDA: Okay. Got it. I'm glad that
18 you put that on kind of the table for public comment, so I
19 look forward to getting more information on that.

20 So, Melissa, looks like you wanted to add something?

21 MS. JONES: Oh, I was just going to say, I think
22 we're the only ones that do a rate forecast. So the one that
23 was used for the CPUC in the en banc was just an escalated
24 rate, I think it was exactly the same. But, yeah, there is
25 this question about how much do you escalate because how many

1 additional costs are being added into the rate base. There's
2 a lot of safety work that's already been done in the PG&E
3 system whereas as much hasn't been done on the SoCal system
4 so there might be a justification for a higher escalation in
5 SoCal versus PG&E. And so those are the kinds of factors
6 we're trying to look at and get a better sense of as we move
7 forward.

8 MR. DIXON: And to kind of further that, that's one
9 of the nice things about how this model was developed whereas
10 the previous model, the en banc one, was just one rate for
11 the whole state. We actually have it broken out by PG&E,
12 SoCal, and San Diego. We can have a different rate for each
13 one. We can change the rate from year to year. We have that
14 capability. We need that kind of sensitivity even this for
15 sensitivity analysis, we can change things around.

16 COMMISSIONER GUNDA: Great. Anthony, thank you so
17 much. I appreciate all the work that the team's doing.

18 I also want to recognize that Commissioner Monahan
19 joined us on the dais. So unless the other Commissioners
20 McAllister and Monahan have any questions, I'll just look for
21 a queue.

22 COMMISSIONER MONAHAN: I don't have any questions. I
23 actually just joined a few minutes ago so I unfortunately
24 missed the presentation. I'm late to the dais.

25 COMMISSIONER GUNDA: Thank you, Commissioner.

1 COMMISSIONER MONAHAN: Sorry about that.

2 COMMISSIONER GUNDA: Thank you. Thank you for
3 joining.

4 Yeah, with that, I will pass it back to Heather for
5 the next segment.

6 MS. RAITT: Okay, great. Thank you.

7 So I don't see any questions from attendees within
8 Q&A. So we'll move on and so to utility presentations.

9 And just a reminder, if the folks have a questions
10 for utilities during their presentation, you can submit it by
11 writing a question in that Q&A feature in the Zoom.

12 So moving on. First, we're going to have a
13 presentation from PG&E and Andrew Klingler is, excuse me, I'm
14 sorry I just mispronounced your name. He's the Senior
15 Manager of Rate Architecture and Cost, the Pacific Gas and
16 Electric Utility. And he's joined by Todd Peterson, Kurtis
17 Kolnowski, and Amy Kouch.

18 So go ahead, Andrew.

19 MR. KLINGLER: Okay. Can you hear me?

20 MS. RAITT: Yes, great.

21 MR. KLINGLER: Great, great. All right. So we're
22 going to talk a little bit about our -- about our internal
23 gas forecast and it will be specifically focused on the -- in
24 the Integrated Energy Policy Report presentation that we did
25 earlier in the year.

1 PG&E does not have an approved internal forecast
2 subsequent to that and it is also, that is drawn directly
3 from the California Gas Report (CGR) as a fairly standardized
4 view.

5 Can we go to the first -- there we are. Thank you.
6 All right, thanks. Next slide.

7 So just to situate us, this is an overview of the
8 2020 California Gas Report forecast and the 2021 IEPR gas
9 filing is based on that forecast. The CalGas report, as many
10 people will know, is filed every two years according to the
11 CPUC decision. And this decision tells the IOUs to work
12 cooperatively to prepare an annual report. And so this is
13 done with a certain degree of overlap and coordination on
14 timing and vintage of information.

15 And so we aim for a consistent forecast, although
16 there are sections in the CalGas report that address
17 different regions within the state. The major input
18 assumptions include electric demand, the natural gas and GHG
19 prices, includes hydro assumptions, and future resource
20 assumptions on the electric generation side.

21 Thanks. Next slide.

22 The CGR presents the outlook for natural gas supply
23 and demand over a long-term planning horizon. So the
24 projections are intended for a long-term planning purpose and
25 there are two different forecasts. There's an average

1 temperature year and there's a cold and dry hydroelectric
2 condition year. And the -- so average temperature year is
3 also sometimes referred to as 1 and 2 forecast. The cold and
4 dry year for the CalGas report is a 1 in 10 scenario. There
5 are other forecasts and other situations where a different
6 percentile is used for those. So that's something to watch
7 out for.

8 Now the methodologies and presentations there for the
9 CalGas report used as backup information as needed here. So
10 the forecast components include -- this slide sort of lays
11 out the basic structure of PG&E's approach. There are
12 basically, there are two large subsections of the forecast,
13 and one is what you might want to call the base forecast
14 which is driven by historical information and weather and
15 economic development. And the other is the more forward-
16 looking market and policy driven kind of forecast. And
17 that's where you see on the top the energy efficiency
18 forecast, the building electrification forecast, and the
19 electric generation forecast. And so those two pieces
20 operate somewhat independently and then are integrated to
21 produce the final forecast.

22 The historical and data driven regression models,
23 they -- we have regression models for each of the major
24 customer classes as well as non-regression models for the
25 smaller NGV and interdepartmental classes. And those produce

1 this sort of a base usage forecast. After that is done,
2 the -- what we sometimes call the load modifiers, the energy
3 efficiency and electrification, and electric generation
4 forecasts which are produced through a combination of
5 modeling and subject matter expert consultation are produced
6 and those are layered into the regression model results to
7 produce forecasts of the various customer classes who are
8 noncore in the total system.

9 Thanks. So that was sort of the big picture. Now we
10 move on to what was actually done for the CalGas report and
11 for the IEPR form file. Now this slide is a little dense.
12 We compacted some information into sort of one big unit
13 there. This -- here we look at the basic results and
14 regression drivers for the -- for forms that go into Forms
15 1.1 through 1.7 on the IEPR forms. These results contain
16 information to the 2020 California Gas report. It has --
17 this year's, we have the average for 1 and 2 gas throughput.
18 We have the cold and dry. We do not do a hot year. It
19 sounds like we may be aiming for that in the future for a hot
20 summer, but that is not for usage reasons a typical stress
21 scenario for gas. We also provide recorded and weather
22 normalized recorded data by category.

23 You can see the basic summary chart for the forecast
24 off to the right-hand side. That's the PG&E service area gas
25 throughput forecast including core, noncore, and EG.

1 Now the drivers for this forecast are the components
2 from diagram we were looking at on the last slide. We
3 include the recorded sales from PG&E internal data. We
4 include temperature history from PG&E weather database. We
5 include internal rates forecast and economic assumptions from
6 the appropriately vintage Moody's update which we are a
7 subscriber to. Those are the inputs to what the regression
8 models that we talked about before.

9 Apart from this, we have the load modifiers. Those
10 are the electric generation and the building electrification
11 and energy efficiency and those are going to be described in
12 a little more detail in following slides.

13 So to return to those regression inputs, a lot of
14 them are weather and economic drivers apart from just our
15 internal usage data.

16 Oh, can we back up a slide? Yeah.

17 So that includes our historical age heating degree
18 day data and so our forecast includes that expected heating
19 degree day and a simple climate trend added on top of that.
20 The cold scenario is just a percentile calculated assuming a
21 bell curve distribution for the monthly heating degree days.
22 So that's our 1 in 10 that we talked about a moment ago.

23 As we said, there's no cooling degree days because
24 we're doing a heat stress scenario. One thing that people
25 have asked about that we have not historically done and may

1 be valuable, but we have not done this in the past so it's a
2 significant data exercise, is to break out HDD data by
3 location and map the load forecast to that.

4 For economics, we subscribe to Moody's service. The
5 residential forecast is driven by population count and
6 households. And the commercial forecast is driven by gross
7 state product localized to the PG&E service area and
8 employment type so that means you checked or service industry
9 or manufacturing, how it breaks out that way because that
10 will drive different components of the throughput.

11 All right, thanks. Next slide.

12 Now we move on to energy efficient and I'm going to
13 turn it over, I believe, to Kurtis.

14 MR. KOLNOWSKI: Okay. Thank you, Andrew. Apologies
15 if you can hear background. There's a car driving, emergency
16 truck driving by.

17 But anyway, I'm Kurtis Kolnowski, Expert Analyst
18 within PRF, or Portfolio Resource Forecasting. We -- our
19 group models these load modifiers as well as electric
20 generation, some of the other resource categories.

21 I'll talk right now about energy efficiency. It's
22 actually pretty straightforward on the natural gas side since
23 we adopted the CEC's forecast of EE. From the IEPR forecast,
24 you'll see a pretty simple flowchart here where we take the
25 committed EE so those savings that have like a policy or

1 program or code of standard, actually, enacted on the books.

2 And looking at all the different customer clients,
3 residential, commercial as well as AAEE or Additional
4 Achievable Energy Efficiency which comes from several of
5 CPUC's potential and goals models. And those are where we
6 get future E programs and codes of standards for I believe
7 the CEC also uses or merges a couple of other sources such as
8 beyond codes of standards study which looks a little bit
9 further down the line. But essentially we're looking to take
10 that data for the PG&E service area and adapt it to our
11 models and use it going forward.

12 So not a whole lot on this one. I will turn over to
13 Amy to talk a little bit about building electrification.

14 MS. KOUCH: Awesome. Can we move to the next slide?

15 All right. Hi everyone, my name is Amy Kouch, and
16 I'm the forecaster who leads the building electrification
17 forecast at PG&E.

18 And so we've fill Form 1.10 of the gas IEPR with the
19 building electrification forecast results. And so I'll be
20 walking you through the high-level methodology of this
21 forecast.

22 So for our forecast, we consider both the residential
23 and commercial sectors and within those sectors we have two
24 building types. We have new construction which are new homes
25 or buildings that are constructed to be all electric. And

1 then we have retrofits which are existing gas appliances that
2 are switched to electric at the end of their device lifetime.
3 We then create policy scenarios regarding electrification and
4 then subject matter experts within PG&E will weight the
5 likelihood of these scenarios to occur in order to get a
6 final point forecast. And then our ultimate outputs are the
7 electrical impact, the gas load impact, and peak. These
8 outputs all come from the same model so within the same
9 policy assumptions in order to come up with these different
10 results.

11 And so you might be wondering what our scenarios are
12 actually formed by. You can see that for new construction,
13 it's really driven by policy. These are our Title 24
14 building codes and Title 20 appliance standards which are
15 updated on a three-year code cycle basis. They also consider
16 reach codes that are passed by local entities. For example,
17 if a city passes a natural gas ban. We work closely with our
18 internal codes and standards team in order to keep updated
19 not just on what current policy is occurring but where we
20 expect future policy to go or could happen until we end up
21 with a summary, like metric of what percent of buildings are
22 considered to be all electric.

23 For retrofits, on the other hand, it's driven by
24 economics as well as policy and so we create scenarios based
25 on consumer adoption of electrified appliances. So we

1 primarily look at space heaters and water heaters, but we
2 also consider cooking stoves, process equipment, and dryers
3 as well. And so the metric we get is percent of existing gas
4 yield appliances that are electrified.

5 And I'm happy to answer any questions in the Q&A.
6 I'll now pass it back to Kurtis to discuss electric
7 generation.

8 MR. KOLNOWSKI: All right. So the final couple of
9 slides we have are on electric generation forecasting. So
10 this gas, fire, electric generation, climate cycles, gas
11 turbines, reciprocating engines, the various co-gens. The
12 power plants would take the gas off our backbone or local
13 transmission system, convert that to energy, and either use
14 that to serve load on site or sell into an energy market such
15 as the CAISO.

16 So what you're seeing here is results from the
17 California gas report for PG&E service area. Results are in
18 million cubic feet per day and that's -- that would be an
19 average over the 365 to 66 days in a year. There's a couple
20 of things here. The first is since this is a CGR, 2020 was a
21 forecasted year, that's when the forecast was still being
22 developed. And you'll see lower Southern California gas
23 prices decrease. EG firms in North Cal, really in that 2021
24 period onward decreasing renewable portfolio standard
25 requirements while reduce EG throughput as well. Since those

1 are typically cheaper, they end up generating intermittent
2 resources generate first and EG follows more on the margin.

3 And then finally, in this 2030 to '35 period, you see
4 a slight uptick and that's driven mainly by building
5 electrification or additional electric load on this system.
6 There's -- once you're getting out that far, there's a little
7 bit more uncertainty in what's actually going to happen.
8 Different resource acquisition exists where de-
9 electrification, actually, things like that could result in a
10 pretty wide range in that timeframe, anywhere from really
11 know that increase if there's electrification load is survive
12 renewables to something like you're seeing here. And PG&E
13 forecasts, both in average and in CCR 1-in-10 Cold Year, and
14 you'll see that we both backbone and local transmission plans
15 on here.

16 So going to Slide 9.

17 Okay. So a little bit about the methodology that we
18 used to forecast electric generation. We're using production
19 cost models. For the CGR, we used MarketBuilder which is a
20 legacy gas generation model. And recently we've been working
21 on adapting actually the CEC's IEPER PLEXOS model for use in
22 EG forecasting. So similar concept, more details. And
23 essentially, we model all the power plants within the WECC
24 loads for those various regions, interconnections, and go
25 step hour by hour and optimize the least cost solution for

1 what resources to use to generate to meet the load.

2 I noted a couple of major assumptions that we use for
3 electric generation forecasting on this slide. One of the
4 big ones is electric load. So CEC's IPER report is used plus
5 we add our own building electrification forecasts within a
6 short-term timeframe. Electrification isn't the biggest
7 driver but you saw the '30, '35 that starts to increase a
8 little bit more. Gas prices are a big driver. For this one,
9 we use prices develop within the CGR. Renewable portfolio
10 standards it's 50 percent by 2030, consistent with SB100.
11 Also a lot of additional battery storage, a little bit of
12 pumped hydro. Hydroelectric assumptions so how plants within
13 California and then across the WECC.

14 For generate using hydroelectricity, it's a
15 combination of run of river type systems, mostly out of state
16 that generate as the water's available. And then in
17 California we have a little bit more control over that. So
18 you can optimize the water levels a little bit more. Once
19 their cooling plant retirements, so the repowers, the
20 retirements coming up, Diablo Canyon in '25. CO₂ prices from
21 the forecast. And then finally on transmission capacity from
22 WECC-wide data.

23 But there's a lot of assumptions. We work in the CGR
24 and elsewhere with other entities and marketing groups to
25 develop consistency around these.

1 And if we can go into Slide 10, I just want to talk a
2 little bit more about assumptions.

3 So this is a little more forward looking here. Up to
4 now, we've been talking about how we forecasted to date. I
5 just wanted to call attention to a couple electric generation
6 forecast assumptions that we've identified as pretty critical
7 for the future. There's interest in these, there are
8 substantial drivers, and the environment might be changing
9 (audio lost) in the future.

10 So we talked about this meeting on July 29th, I
11 talked about gas system interdependencies here and we're
12 currently engaging in statewide studies and working groups
13 such as the IRP, IEPR forecast here. California Gas Report
14 helped address these at a statewide level, but I just wanted
15 to take a quick second to talk about a couple of these that
16 we're looking at.

17 Hydroelectric generation, as you know, we're in a
18 drought right now. Over the past 20 years, we've observed
19 that there is a trend in declining hydroelectric generation.
20 I want to note, this resource class is highly variable. If
21 you were to draw a line as to what an average looks like,
22 many years would be above or below that line. In fact, in a
23 need for thermal generation so looking into that, assessing a
24 wide range of conditions and seeing what could happen in the
25 future is pretty important given where we are right now.

1 Demand forecast is the next one. And there's
2 impacts, two impacts to call out here, electrification and
3 climate change, potentially. And these can impact both the
4 magnitude of the load needed to be served which would require
5 additional resources and also in climate changes is the
6 variability on this system. So a couple hot days or week,
7 cold winter, those can have a pretty big impact on how
8 electric load is required for -- or electric generation's
9 required on a specific periods of time.

10 Imports next. So looking at what WECC-wide
11 independencies here. I guess I could call it high -- periods
12 of high overall demand within the WECC, such as some of the
13 heatwaves that we saw earlier this year can constrain imports
14 or resources of the state willing to be -- or available to be
15 imported into California. So really looking at that. I know
16 that's part of some of the recent preferred system plan work.
17 The CPUC has looked at what our import constraint should be
18 in a peak condition.

19 The next one, future resource additions or
20 retirements. So these impact the resource mix as far as the
21 state's goals. Just wanted to note that. In this case,
22 there's a lot of ongoing work on this one. New orders and
23 procurement orders, system plans, things like that. Keeping
24 up to date on those, making sure as those come out, we model
25 those changes, understand where the future's going, and as we

1 transition towards the decarbonization path. We really need
2 to just make sure we stay on top of those as they come out.

3 Finally, this last one, fuel prices. This one
4 doesn't necessarily affect generation at like CAISO or
5 statewide, but differences between Citygate prices you saw in
6 previous slide decks from the CEC that differences, there's
7 differences in PG&E and SoCalGas Citygate prices. These can
8 reflect -- these can cause favorable conditions for
9 generators and one region of the state over the other. And
10 understand those price (indiscernible) can help recognize
11 variation of gas to put on utility gas systems.

12 So a lot of these things that we're looking at
13 working -- want to just, yeah, just draw attention that as
14 things that could have an impact in the future.

15 And that's actually the end of our slides. So thank
16 you everyone.

17 MS. RAITT: Great. Thank you so much to A.J. Andrew,
18 Todd, Kurtis, and Amy. Appreciate that.

19 So next we will turn to Southern California Gas
20 Company's presentation on their gas demand forecast. And the
21 two presenters, Sharim Chaudhury who's the Manager for Cost
22 Allocation and Rate Design and also Jeff Huang, who is the
23 Senior Resource Planner.

24 So go ahead, Sharim.

25 MR. CHAUDHURY: Hi. My name is Sharim Chaudhury. I

1 manage the rate design and demand forecasting group for
2 SoCalGas and San Diego on the gas side. And along with me,
3 we have Jeff Huang who's going to talk about the gas demand
4 for gas fired electrification.

5 Next slide, please.

6 So we're going to talk about a long-term demand for
7 custom models and basically major assumptions underlying sort
8 of each of those models. So we have models for our core
9 market segments and we have separate models for noncore
10 customers including electric generation customers. And we'll
11 talk a little bit about the weather design because it's an
12 important element of long-term demand forecast for our
13 customer segment whose gas demand is weather sensitive.

14 Then we're going to talk about cold year demand. As
15 PG&E talked about in the California Gas report, we provide
16 two scenarios. One is sort of average year demand and other
17 is cold air, dry hyrdo demand. These two scenarios. In
18 addition, we also will briefly talk about the peak day demand
19 for our system. And then at the end, we'll share a few
20 slides about our forecasting results from the 2020 California
21 Gas Report.

22 Next slide.

23 This is an exhaustive list of the long-term demand
24 forecasting model we have by core and noncore customers and
25 also by wholesale customers. So as you can see in this

1 table, for within the core segment for residential, core
2 commercial, or industrial, we use end-use forecasting models
3 similar to what CEC has.

4 Then we have, you know, put in natural gas market
5 segment and we have fuel gas engine customers. And gas air
6 conditioning cost too much. For them, we pretty much use a
7 simple trend model. For noncore retail customers, for
8 noncore commercial and noncore industrial, we again use end-
9 use type models. And electric generation, we use PLEXOS
10 production cost simulation model that Jeff will talk about.

11 And by electric generation, it's really just
12 dispatchable electric generation and large core generation.
13 For small cogeneration we have econometric model so is for
14 the refinery, industrial, and refinery cogenerate of electric
15 models. And EOR [enhanced oil recovery], we have a simple
16 trend model. For San Diego, we essentially, what we have, we
17 have similar model for residential or commercial that we are
18 listed here for SoCalGas. And as the wholesale customers, or
19 particularly the sum of all customer segments demand is sort
20 of San Diego's wholesale demand.

21 And for Southwest Gas, City of Vernon, and Long
22 Beach, we get from this respective wholesale customers their
23 proprietary forecasts. And then we have one international
24 wholesale customer, EcoGas, again, we have simply trend
25 model.

1 Next slide, please.

2 In high level, I'll basically describe how we get
3 average year demand forecast. Okay? So on the very left, we
4 have, you know, for -- most of the market segment is showing
5 the previous slide. We have end use forecasting model or for
6 some of the noncore customer segments, econometric model. We
7 basically have a forecast and average year weather design.
8 Okay. And the major input on the line, these models are, you
9 know, demographic driver, economic drivers. We have gas
10 electric prices. We have carbon prices. We have customer
11 forecast. We have appliance saturation, you know, gas
12 appliances. And also the UECs which stands for unique energy
13 consumption for residential market or EUI which is energy
14 used in the sense for the commercial market segment. So
15 there's average usage for gas appliances.

16 And we have, we also fit in the weather design
17 criteria. We also include a base year weather adjusted
18 throughput. Okay. And some other inputs.

19 Then once we get the results from our sort of end-use
20 or econometric models, we do some, we call after model
21 adjustment or post model adjustments. Okay. Our model
22 structure is such that, you know, some of the dynamic changes
23 that happens over time, it's not very easy to model -- to
24 capture that in sort of our model in the left column. Okay.
25 So we basically take the results from there and then we make

1 some adjustment for that. So like PG&E described that for EE
2 savings, you know, we do after model adjustments. And the
3 EE, energy efficiency elements that we capture is exactly
4 like PG&E described. It's committed and also additional
5 achievable energy efficiency. You know, the goal that the
6 Commission decides on.

7 Then we also model climate change. Global warming,
8 in fact, that's also up to the model or post model
9 adjustment. Then we have some customer migration from
10 noncore or vice versa, we do that.

11 So then we come up in the final forecast which is
12 essentially repeating the sort of average year weather design
13 so what we get is the average year demand. And on a very
14 high level, you know, for the forecast of residential
15 customers in demand growth is the new housing starts is the
16 main driver for the residential market segment. And for the
17 commercial industrial market forecast is really the projected
18 employment groups over time.

19 Next slide, please.

20 This -- end-use models are extremely data-intensive
21 model. And it's partly sort of for like a inventory tracking
22 model. It basically figures out for customers what household
23 or commercial industrial customers energy used essentially is
24 through the different gas appliances they have and the use of
25 it. And two quick key steps particularly at a point in time

1 would be in appliance stock they have and also it charts in
2 the collection of this appliance stock whether it's space
3 heating, water heating, clothes dryer, or cooking, for
4 example, and whether they choose a gas or electric appliance.
5 And also once they choose it, they're in charge of the
6 efficiency level and they can purchase, you know, high
7 efficiency or standard efficiency.

8 As the simulation steps forward from one year to
9 next, we keep track of -- the models keep track of each year
10 between new load added due to new meters or new customers.
11 In addition to for existing customers, you, for example, some
12 of their appliances become worn out and then they make a
13 decision of new appliances for their new place, gas
14 appliances, gas appliance or electric appliance and the
15 associated energy efficiency for those appliances.

16 Now base year forecast is calibrated to base year
17 historical weather normalized consumption. Now as you know
18 for the long-term demand forecast, you know, weather is very
19 hard to predict so the long-term demand forecast we basically
20 forecast gas demand under normal weather condition. And the
21 way we define normal is sort of an average of historical 20-
22 year average.

23 And so one of the salient feature of the annual
24 forecasting model is the calibration approach. So for the
25 2020 CGR, 2019 we call it the base year. So when we

1 developed a forecast, 2020 forecast, we had historical data
2 from 2019 and we also used the end use forecast model to
3 develop up the forecast of 2019. And the calibration really
4 means that we come up with the forecast for 2019, the base
5 year, and compare that with the actual consumption.
6 Actually, not actual consumption, take actual consumption and
7 weather normalize it. Okay. And to the extent that weather
8 normalized, historical consumption was higher and lower than
9 the forecast. We basically calibrate or adjust the forecast
10 up and down so it matches.

11 Okay. Next slide, please.

12 So for the noncore customers, as I mentioned, every
13 year we have econometric model, models for SoCalGas refinery
14 industrial and refinery cogent customers. The sort of
15 exploratory variables of the econometric model of the gas and
16 the propane prices. You can think of to get propane prices
17 are competing input in the gas prices lower, the refinery's
18 going to use gas and vice versa. The propane prices lower
19 than they are going to use propane instead of gas.

20 For SoCalGas small cogeneration is again, well, it's
21 driven by the gas price and the electricity price. You can
22 think of it as the input price and the output price. So if
23 the electricity price is very high compared to the cost of
24 producing electricity, then they're going to use the gas.

25 For enhanced oil recovery, we use a simple historical

1 trend. It could be average of last three years or five
2 years.

3 Next slide, please.

4 So here we're talking with the post model
5 adjustments. We talked a little a bit about the energy
6 efficient savings and that's really PG&E described in great
7 detail what those savings are so I'll just quickly go and
8 move to the next one.

9 Weather designed to account for -- sorry, sorry, if
10 you could go back to the previous slide. Yeah.

11 So I want to point out weather designed to account
12 for global warming. In the 2020 CGR, for the first time,
13 we've basically incorporating the fact that on average,
14 winters are getting warmer so we have fewer and fewer HDD on
15 average. Okay. So for the forecast period, we projected an
16 annual HDD reduction of about four heating degree days each
17 year for SoCalGas.

18 Next slide, please.

19 So we essentially talked about a previously, you
20 know, our average year demand forecast. And then the second
21 scenario or for the weather sensitive load, we have come up
22 with a 1-in-35-year cold year demand forecast. And if you --
23 you can see the process as in a cold year demand, gas demand
24 will be higher than the average year gas demand. And the
25 incremental gas demand really depends on average year,

1 weather design, and 1-in-35 cold year weather design and
2 basically what the -- the average demand was associated with
3 the average year is to HDD design and basically we have
4 historical relationship between sensitive and between how
5 much gas demand changes if heating degree days change by one
6 and then for each market segment.

7 Okay. So this incremental cold year demand is
8 derived by this element that we -- the bullet points we have
9 highlighted in one, two, three, and four. And the average of
10 demand average year is to be designed 1-in-35 cold years to
11 be designed and demand sensitivity per HDD.

12 Now the, for us, the weather sensitive market
13 segments are residential or commercial or industrial.
14 SoCalGas's noncore commercial, these are the customers
15 segments which we consider HDD sensitive market segments.
16 For non-HDD sensitive market segments, cold year demands are
17 basically the same as the average year demand.

18 Next slide, please.

19 So we also calculate peak day demand and we have
20 basically two scenarios. One is 1-in-10 year peak day at
21 temperature design which is 42.2 degrees Fahrenheit. And for
22 1-in-35 peak days in temperature design is 40.5 degrees
23 Fahrenheit. And both of these sort of these degree
24 Fahrenheit are based on we look at annual coldest day HDDs
25 over the last 70 years starting in 1950 and going through

1 2019. Okay.

2 And the way I described how we come up with sort of
3 incremental gas demand in 1-in-35 peak year. So the
4 analogy's similar. What we do is that we look at sort of
5 average cold day demand which would be an average day in
6 December and we basically look at what is the incremental gas
7 demand for peak day in December. And the way we come up with
8 is when the in core peak day temperature design which we
9 talked about in bullet one and two, then we look at average
10 year demand 1-in-35 cold year demand and then we come up with
11 the sensitivity, you know, to peak day -- to daily demands to
12 HDD.

13 Next slide, please. Next slide.

14 So Jeff will talk about the next couple of slides.

15 MR. HUANG: Okay. My name is Jeff Huang. I do the
16 EG gas demand forecast for SoCalGas. And in late 2019, we
17 licensed PLEXOS production cost simulation model from energy
18 exemplar. And because CEC has a very comprehensive database,
19 we basically download the CEC's spring 2020 database as our
20 reference case. And then we make changes on top of that as
21 needed.

22 And for 2020 CGR, we selected and met demand case
23 with mid-AAEE case. That's our electricity demand for our
24 simulation. And then we made additional changes such as we
25 inputted the updated compliance schedules per State Water

1 Board and we extended the retirement date of Alamitos,
2 Huntington Beach, Ormond Beach, and Redondo Beach.

3 Next slide.

4 And I think this is a major deviation from the CEC's
5 forecast. For the natural gas price forecast, we did not use
6 the CEC's forecast. We used the market price reference
7 methodology. It is a combination of the NYMEX Futures and
8 other long-term gas price forecasts. And at the same time,
9 we updated where as needed and we make sure that renewable
10 resources is 60 percent RPS goal by 2030, and we kept it at
11 60 percent for 2035.

12 And so for most of the database, we followed CEC's
13 database and we want to be in sync with their database so
14 that we are on the same page. And our general methodology is
15 when we get the new database, we do a sanity check, and then
16 we provide feedback back to CEC for any corrections so that
17 as we move forward, all databases will be in sync.

18 And so another -- for CGR 2020, we do two scenarios;
19 average year hydro scenario, and the 1-in-10 dry hydro
20 scenario. I believe the average year hydro scenario is in
21 the CEC database, it's based on a 15-year average. And then
22 we select a year that meets the 1 in 10 dry hydro conditions.
23 And for the CGR 2020, we selected hydro year 2015.

24 And for the next CGR, for the CGR 2022, we hope to
25 use CEC's most recent database as of spring 2022. And again

1 we will follow the same methodology and provide any feedback
2 back to CEC on the data in our service territory.

3 And now back to Sharim for the results.

4 MR. CHAUDHURY: Next slide, please. Next slide.

5 As we mentioned earlier, for the residential market
6 segment, new housing starts basically a significant driver
7 for the long-term demand forecast. So this chart is from the
8 2020 CGR report. So in southern California, what we are
9 observing is that new building is slowing down but their
10 record low interest rates are expected to bring strong
11 recovery.

12 And if you look at this slide, you know, it says
13 historical sort of housing starts from 1990 on ward and it
14 goes up to the forecast period of 2035. And as you see that
15 in the great recession of 2008 and '9, the housing started to
16 decline significantly and it has picked up and with this low
17 interest rate, we think it's going to pick up even more.

18 And one of the observation is since the last 2008,
19 2009 if you will observe the proportion of multi-family
20 housing starts -- is sort of proportionately more since 2010
21 compared to the time period before 2010. Just interesting to
22 note. So we had a low of 20,000 2009 and for 2019, we have
23 seen sort of 51,000, you know, it's forecasted to be 70,000
24 in 2023 and 61,000 in 2035.

25 Next slide, please.

1 Here we are looking at sort of our active number of
2 meters and meter growth. So the orange bars basically shows
3 the meter growth and the black line basically shows number of
4 active meters in millions on the right-hand side scale.
5 Whereas that meter growth is on the left-hand side scale. So
6 actual 2019 active meters for us was 5.8 million and we are
7 seeing sort of an average annual growth. We are expecting
8 over the forecast period of 0.6 percent.

9 Next slide, please.

10 Major legislations affecting the forecasts in the
11 2020 CGR. For Senate Bill 100 is for that eligible renewable
12 energy and zero carbon resources supply 100 percent of retail
13 sales in electricity in California by 2045. It also calls
14 for renewable energy to supply 50 percent of the state retail
15 electricity by 2026 and 60 percent by 2030. And Jeff has
16 incorporated sort of these assumptions in his EG gas demand
17 forecast.

18 For energy efficiency Senate Bill 350, the goal is
19 double the cumulative energy efficiency savings by 2030. And
20 these state energy efficiency projections we have included in
21 our 2020 CGR forecasts.

22 For Assembly Bill 3232, you know, calls on state
23 agencies by 2021 to develop plans and projections to reduce
24 greenhouse gas emissions in California's residential and
25 commercial buildings to 40 percent below 1990 level by 2030.

1 So we have not included sort of the gas demand reduction
2 associated with greenhouse gas reduction in the 2020 CGR.
3 Going forward we are -- in the 2022 year we are thinking
4 about including some scenarios. PG&E had some scenarios in
5 the 2020 CGR and they talked about it briefly and we'll have
6 some scenarios most likely in the 2020 CGR. We have not
7 defined these scenarios yet.

8 Next slide. Next slide, please.

9 So this is sort of the summary from the 2020 CGR gas
10 demand forecast sort of overall in the high level by
11 residential, core nonresidential, noncore non-EG, and
12 electric generation, and wholesale customer group. So the
13 total order expected to fall between 2019 and 2035 declining
14 an average of 0.9 percent per year. And for comprehensive
15 purposes, they sort of -- the rate of decline is higher if we
16 compare it with the 2018 CGR and also with the prior 2016
17 CGR. And primarily, the reduction is from energy efficiency
18 program savings offsetting, you know, the meter growth and
19 the employment growth.

20 Next slide, please.

21 And here basically we talk about what are the change
22 in demand by customer segments. For residential, gas demand
23 declines about 1 percent between 2020 and 2035. And again
24 declining use for meter more than offsets the meter growth.

25 And since 2021m weather-normalized residential use

1 for active meter has been dropping by 0.6 percent per year.
2 Commercial gas demand is expected to fall by an average of
3 1.1 percent per year. Industrial load is expected to decline
4 by 0.6 percent from 2020 to 2035.

5 Next slide, please.

6 Wholesale, excluding SDG&E is expected to shrink
7 slightly between these forecast periods. San Diego's gas
8 demand is forecasted to decrease an average of 0.6 percent
9 per year. NGV load are expected to grow by 1.4 percent per
10 year and it's largely due to low carbon government incentives
11 and low natural gas prices relative to gasoline and diesel.
12 And carbon offsetting renewable natural gas already fuels
13 about 80 percent of our territory natural gas vehicle load.
14 Enhanced oil recovery steaming demand is forecasted to remain
15 steady, you know, throughout the forecast period.

16 Next slide, please.

17 You're not talking about it, Jeff? In the EG demand
18 forecast? Are you in it?

19 MR. HUANG: The EG demand forecast is expected to
20 decrease over time. And, I mean, it's largely due to the
21 increase in renewables. And it's -- the renewable is mostly
22 displacing the natural gas. And then for the dry hydro
23 scenario, we notice that the dry hydro has lesser impact than
24 prior CGRs and we think that's largely due to the increase in
25 renewables. We have RPS reaching 60 percent by 2030 so

1 there's a significant amount of renewable generation to
2 displace the hydro.

3 Okay. Back to you, Sharim.

4 MR. CHAUDHURY: Next slide, please.

5 I guess we are done.

6 MS. RAITT: Thank you, Sharim.

7 Commissioners, we have a little time for discussion
8 if you have some questions or comments for Jeff and Sharim.

9 COMMISSIONER GUNDA: Yeah. So thank you, Jeff and
10 Sharim and the PG&E team for all the presentations. I think
11 it's really, really helpful to see how you're considering
12 various aspects moving forward.

13 I know there's a bunch of questions that came through
14 Q&A so I'm going to ask one question and then see if
15 Commissioner McAllister has any and then go to Q&A and then
16 we can come back if there is time.

17 So the high level, Sharim, I think specifically you
18 mentioned about climate change impacts being talked through
19 in terms of adjustments to the heating degree days.

20 MR. CHAUDHURY: Uh-huh.

21 COMMISSIONER GUNDA: Just wanted to ask what the PG&E
22 team and you, maybe Andrew might want to comment on this, one
23 is kind of rationale behind decreasing by 4 heating degree
24 days, reducing by 4 heating degree days. And what are PG&E
25 doing similar to capture climate change impacts?

1 MR. CHAUDHURY: Okay. So this is Sharim, let me just
2 try to explain what is the rationale for decreasing heating
3 degree days by 4. So our average heating degree days per
4 average year, we basically calculate over a 20-year period.
5 And we have an actual historical data, so we have calculated
6 sort of 20 numbers of 20-year average heating degree days
7 based on going into the future. Okay.

8 So we have this 20 data elements and basically based
9 on that, we basically looked at the trend, okay, how the
10 heating degree days over this 20-year average heating degree
11 days has changed over this 20 of the observation points
12 through regression analysis, and we found out that it's about
13 4 degrees -- 4 heating degree days.

14 COMMISSIONER GUNDA: Thank you, Sharim.

15 Maybe Andrew or Kurtis has -- wants to share anything
16 from PG&E and I just have a quick follow up.

17 Andrew, you're muted if you're speaking.

18 MR. KLINGLER: There we go. Yes, on the regression
19 side, we have looked at the California climate adaptation
20 forecast and so we've done a very simple linear interpolation
21 of that going out to about 2040. And so we have a
22 coefficient that increases the number of -- excuse me,
23 decreases the number of HDD over time. And I would have to
24 look up the exact amount, but it's about .6 per -- .6 HDD per
25 year.

1 COMMISSIONER GUNDA: Right. So I think just a follow
2 up to both of you. So one of the thing on the electricity
3 demand side, at least given the level of the concerns we've
4 had the last couple of years, it has been this consideration
5 that, you know, history's not a good indicator of the future
6 in terms of the uncertainty and the volatility that we might
7 see in the fluctuations.

8 Has there been thinking about how to capture future
9 uncertainties and volatility around temperature, drought, and
10 so on? Just your high-level talks on how that would helpful.

11 MR. KLINGLER: I'll go first, if that's okay. What
12 we have really started moving toward internally and probably
13 would prefer to do externally also is to move towards a
14 scenario analysis based approach where we instead of trying
15 to estimate something like statistical variation or we would
16 specify actual possible scenarios that might play out. And
17 that would include both climate scenarios and policy
18 scenarios because obviously as we move forward, that's a big
19 driver.

20 MR. CHAUDHURY: Commissioner, you brought up a good
21 point. So what happened is that for -- due to climate
22 change, the average heating degree day per year is declining.
23 But as you pointed out, the volatility, okay, it could be
24 become more intense. So what we are finding out from some
25 work we have done is that even though the average year

1 throughput is going down, peak day demand not naturally is
2 coming down as much.

3 COMMISSIONER GUNDA: Got it.

4 MR. CHAUDHURY: Okay.

5 COMMISSIONER GUNDA: Thank you, Sharim. Thank you so
6 much.

7 I'll pass it on to Commissioner McAllister and then
8 we'll go to Q&A.

9 COMMISSIONER MCALLISTER: Thank you, Commissioner
10 Gunda. So you read my mind kind of on that, you know,
11 future, you know, sort of expanding envelope of possibilities
12 going out and how we're going to capture that is, you know,
13 the past is not a good predictor. So that's an interesting
14 ongoing discussion.

15 My question just has to do with the 3232 world, both
16 PG&E and SoCal. I was happy to see you mention the 3232
17 report and those scenarios are pretty stark in terms of what
18 we told the legislature would need to take place in order to
19 get the building sector to 40 percent below 1990 level. And
20 there's, you know, in order to do that the takeaway is pretty
21 much massive fuel substitution from gas end uses to electric,
22 certainly in a residential sector where it's most prevalent.

23 And I guess I'm wondering a couple of things about
24 that. You know, one did you do true, I think SoCalGas did
25 not, I had to step away a little bit so I didn't hear fully

1 what PG&E is doing on that. But, you know, I guess I would
2 just ask if you have done and encourage you to do, if not,
3 some full sort of 3232 scenarios just to see where that
4 leads. You know, maybe it's a bookend, maybe it's not, but I
5 think that would be helpful how have you contemplated those
6 scenarios in each of your respective forecasts?

7 MR. CHAUDHURY: Andrew, do you want to go first? Or
8 I can go.

9 MR. KLINGLER: You can go ahead, if you like.

10 MR. CHAUDHURY: Okay.

11 MR. KLINGLER: I have a few people on the team.
12 Yeah.

13 MR. CHAUDHURY: Yeah. Commissioner McAllister, we
14 are looking into the scenarios. Okay. I mean, the way we
15 particularly, we do it is that as we discussed, you know, in
16 the California Gas Report, we pretty much had in terms of
17 truthful forecast we put for, you know, two scenarios. One
18 is the average year and one is a cold year dry hydro. And it
19 seems like when this decarbonization goes, we probably need
20 to have additional scenarios including maybe some bookends
21 like you mentioned. Okay.

22 The reason is that, you know, our demand forecast,
23 like 1-in-10 year, 1-in-10 cold year demand forecast and the
24 peak day demand forecast that used for our transmission
25 planning purposes, right. So we have started talking

1 internally, we're not in a position to basically say much.
2 But I feel like we probably need to have additional scenarios
3 in the California Gas Report.

4 And why I said that is that sometimes we are ask to
5 pick a point estimate, what do you think is the best
6 forecast, right. And that point estimate gets very
7 difficult, you know, in the future, right, when this
8 decarbonization scenario what is likely versus goal. Because
9 as you know for our cost allocation and rate design, we use
10 sort of, we come up with the rate is revenue to curve and
11 divided by average year throughput. And average year too
12 could be significantly different depending on the level of
13 decarbonization.

14 And likewise, you know, we are supposed to have a
15 reliable transmission system, okay. And for slack capacity
16 on our transmission system, we look at 1-in-10 cold year
17 average day throughput. And this issue has come up in the
18 gas OIR sort of track one issue.

19 So, I mean, we probably need to put forth more
20 scenarios but the end of the day we need to figure out if
21 somebody asks us to give a point estimate, what do we point
22 to.

23 COMMISSIONER MCALLISTER: Thank you for that. I
24 would agree, some additional scenario work and also the
25 crosswalk over with the electric side, right, just because

1 SB100. Not every, you know, sort of unit of energy
2 consumption that migrates from a gas end use to an electric
3 end use is going to actually imply the same amount of carbon
4 on the electric side, right, depending on the scenario.

5 So I think there's a pretty nuance sort of co-
6 scenario development maybe that ought to take place here to
7 capture fuel substitution. And, I'm sorry, I got in front of
8 you, Andrew, so go ahead.

9 MR. KLINGLER: No, that's fine. I'm -- yeah, we
10 similarly we have, we're in a world where we're working with
11 point forecasts and not have done a lot of super
12 sophisticated work beyond that. We do have the
13 electrification forecast that you see here and that we update
14 regularly. That is actually set up in a way that's
15 consistent between the gas and electric side. So there is an
16 estimation exactly of how that energy is being traded off.

17 The accuracy of that kind of thing, of course,
18 depends heavily on, I mean, it's not going to be super
19 precise and it also depends itself on assumptions about
20 policies that are behind the way things play out.

21 COMMISSIONER MCALLISTER: Okay, yeah, great. Thanks
22 very much. I appreciate those answers.

23 We have some really good questions in the Q&A so I
24 want to ask to pass to the moderator for Q&A. So I think
25 that's Jennifer Campagna?

1 MS. CAMPAGNA: Yes, it is. Thank you, Commissioner.

2 Okay, so to start off, Tom Beach has a two-part
3 question and this is for PG&E.

4 Is the PG&E electric generation throughput forecast
5 consistent with the adopted CPUC 2030 GHG emissions of 46 MMP
6 in the IEPR reference system portfolio?

7 Part two, if the 2030 GHG goal is reduced to 38 MMP,
8 how much would the EG forecast decrease?

9 And I'll turn it over to anyone in PG&E who would
10 like to answer.

11 MS. RAITT: Andrew, I think you're muted.

12 MR. KOLNOWSKI: I think Todd Peterson has a response
13 to these. That's probably double muted. I can respond to
14 this myself.

15 So two-part question. The first is what assumption
16 was used in the CGR? And the second, how would EG change
17 using that more stringent GHG reduction target?

18 So the first one, CGR does use the preferred -- or
19 the reference system plan 46 million tons. I believe that
20 was a compilation of February of 2020 that's cited in the
21 CGR.

22 The second one, that GHG target -- or using the more
23 stringent GHG goal, that's a place where we're definitely
24 looking to conduct additional analysis particularly around
25 updated portfolios that may target that. I know that the

1 CPUC is proposing a preferred system plan looking at 38 MMT.
2 So I would expect this to be a source of frequent discussion
3 in the upcoming months.

4 MS. CAMPAGNA: Thank you. Is there anyone else from
5 PG&E? Okay, great.

6 The next question is for both PG&E and SoCalGas and
7 it is from Mike Florio. If overall residential and
8 commercial average gas demand are trending downward, is there
9 any reason to expect peak demand for these customers to
10 follow a different trend?

11 And we can start with if PG&E would like to do the
12 first response followed by SoCalGas.

13 MR. PETERSON: Hi, this is Todd Peterson with PG&E.

14 The way to think about what's happening on the demand
15 side as observed demand over long-term declining, I think a
16 good way to take a look at this is that the forecast that we
17 have in the 2020 CalGas Report. There was one perspective of
18 looking at the abnormal peak day demand which are -- is an
19 extreme condition forecast. And that is that they 1-in-90
20 cold temperature event to ensure that our PG&E system can
21 meet that peak demand for core customers.

22 So that's in the CalGas Report, you can see that.
23 There is over the three-year period that we are forecasting
24 for abnormal peak day, or APD, there is a slight uptick in
25 core demand.

1 Secondly, there is also a summer and winter peak day
2 forecast. And in general, those demands are flat to
3 declining in both those periods of winter and summer.

4 I think that's a good area to start with and I think
5 that there's an area to do more study in how demand would be
6 changing as the system changes with more renewables on
7 system. We see electrification growing. There is still a
8 lot of uncertainty around this, an unknowing. So the
9 scenario analysis should help us understand that better.

10 MR. CHAUDHURY: Okay. Think about -- I think if the
11 ever reached for residential market segment toward the
12 average usage to go down, peak demand might not change much,
13 you know. Think about for residential market segment, gas
14 big demand happens either in December or January.

15 Think of what -- we can think of a situation that
16 they could be cloudy or rainy where we may not have, you
17 know, solar providing sort of the electricity so we may have
18 to meet the residential sort of heating demand. We may have
19 to fire up the gas, you know, stand by peaker unit, for
20 example. So it's not a one-to-one reduction, you know, for
21 if the average demand goes down, peak demand might not
22 necessarily go down.

23 MS. CAMPAGNA: Okay. Thank you. Appreciate it.

24 Okay, so the -- looks like the last open question we
25 have is from Katie Elder. And the question is for Sharim.

1 Sharim, are you seeing the 42.5 degree increase as
2 your 70 years rolls forward?

3 MR. CHAUDHURY: You know, for peak days, you know,
4 weather design, we basically have not rolled in 70 years, we
5 just, you know, the oldest data we captured in 1950 and
6 basically additional cold days the year progress, we
7 basically add to it.

8 Now what happens that we are picking up the coldest
9 day for each of those 70 years. And if we add one or two
10 more years, it's really is not impacted the tail end of the
11 distribution as much, as I recall from last year. So I think
12 it's not changing much. That would be my answer now but I
13 can look into that.

14 MS. CAMPAGNA: Okay. Thank you, Sharim.

15 So we actually have another -- one more question, a
16 follow-up question from Mike Florio. I understand that
17 average and peak may decline at different rates, but is there
18 any logical reason why peak would increase when the average
19 is declining?

20 MR. CHAUDHURY: Yeah. For SoCalGas, we have not
21 looked at the essential peak demand in particular. Maybe we
22 should look at that. We basically look at sort of system
23 peak. I couldn't answer the question now, okay, but the idea
24 is that if -- because of, if in the future, for example,
25 someone is heating demand is transferred to, based on say

1 electric heat pump and things like that. And if we do have,
2 for example, a cloudy day, I don't know if the peak demand
3 could go up or not. But it's, my first guess is Mike is
4 unlikely.

5 MS. CAMPAGNA: Okay. Thank you. Is there any follow
6 up from Todd or anyone at PG&E on this question?

7 MR. PETERSON: Hi, it's Todd Peterson from PG&E. We
8 don't have the right experts here to really uncover this a
9 little bit more. It's something that we would need to get
10 back to you.

11 MS. CAMPAGNA: Okay. Thank you, everyone.

12 That is it on our open Q&A on our Zoom session.

13 Heather, I will turn it back to you. Thank you.

14 MS. RAITT: Great, thank you. And so, thank you,
15 Jennifer, for leading us through that.

16 Commissioners, if you didn't any have -- or if you
17 have any final comments or questions for the utilities;
18 otherwise, we will move on to public comment.

19 COMMISSIONER MCALLISTER: Thank you. Thank you very
20 much.

21 MR. RAITT: Commissioner Gunda, we can't hear you.

22 COMMISSIONER GUNDA: Thank you, double mute.

23 Thank you so much again, Andrew, Amy, Todd, and
24 Kurtis, Sharim, and Jeff for being here. I mean, I know the
25 forecasting in the modeling part is such a grueling task. So

1 it's definitely something that is self-selected by people who
2 like to do those things. So I really appreciate all the work
3 and time to be here.

4 And I think my way of comment is, you know, as we
5 move forward, I think what Andrew noted this and Sharim, the
6 importance of looking through scenarios and then having
7 adequate participation of possible futures to guide policy.
8 It is important.

9 I think it kind of goes through both, you know,
10 electrification and the end use policy scenarios, the weather
11 scenarios. But also looking at it from a temporal and
12 geographical distribution as well. So I look to your
13 continued efforts in improving the forecast and working at
14 CEC to improve analytics as well. Perhaps as a state, we can
15 have a good set of forecast data to make decisions. So thank
16 you all so much for being here and helping us through this
17 conversation.

18 MS. RAITT: Super. All right, Commissioner, we'll go
19 on to public comment and thank you again.

20 Right now we have RoseMary Avalos to lead us to
21 public comment. Go ahead, RoseMary.

22 MS. AVALOS: Thank you, Heather.

23 Commenters, please allow one person per organization
24 make a comment and comments are limited to three persons --
25 three minutes per speaker.

1 And I'll move on to those on Zoom. I see that Frank
2 Seres has his hand raised.

3 Frank, your line is open. You may need to open on
4 your end. Frank, you may need to open on your end.

5 Okay. I'll move on to Mike Florio. Please state
6 your first and last name and spell that, as well as if you
7 have an affiliation, please state your affiliation.

8 Go ahead and speak. You may need to unmute on your
9 end. Go ahead and speak, Mike.

10 MR. FLORIO: Okay, I'm trying to.

11 MS. AVALOS: We can hear you. We can hear you.

12 MR. FLORIO: Okay. Yes, Mike Florio, F-L-O-R-I-O.
13 I'm an independent consultant. And I just wanted to raise a
14 question about the rate escalation assumption for
15 transportation rates for gas. A 2.3 percent seems
16 remarkably low to me. PG&E's current rate base is looking at
17 a 18 percent increase in the gas revenue requirement with
18 further attrition issue that increases every year to follow.

19 So that's not rounding error from 2.3 percent.
20 That's quite substantial and I think SoCalGas's last rate
21 increase is well more than that small percentage as well. So
22 I think you would want to take a close look at those
23 assumptions because it certainly seems like that rate of
24 increase, if anything, is accelerating.

25 That's all I have.

1 MS. AVALOS: Okay. Thank you, Mike.

2 And I think Frank Seres, your mic is open.

3 Okay. Seeing that there are no hands raised on Zoom,
4 now I'll move on to the phone lines. And a reminder for
5 those on the phone to dial star 9 to raise your hand and star
6 6 to unmute. Okay. So let's give a second for those on the
7 phone to if you want to raise your hand.

8 Okay. Seeing that there are no raised hands, that
9 completes public comment.

10 I turn now to Commissioner McAllister.

11 COMMISSIONER MCALLISTER: Thank you, RoseMary.

12 So, Heather, correct me if I'm wrong, that's it for
13 the day if we have no more questions from the dais or and
14 there are no more panels. So.

15 MS. RAITT: That's right, you're done.

16 COMMISSIONER MCALLISTER: Great. Okay. I guess I
17 would just say thank you to Commissioner Gunda for your
18 stewardship of this and your leadership and just, you know,
19 your deep knowledge of this really helps the conversation
20 keep grounded and bring in new information in a really,
21 really good way. So I really appreciate all your guidance on
22 this.

23 And I would just say, you know, okay, with the caveat
24 that, yes, it's a bunch of gas nerds in the room here. This
25 is big stuff, actually. The way we're really modernizing the

1 gas side of the house to match up with the electric side and
2 in all the ways that Commissioner Gunda mentioned. And so I
3 think that increased regularity and temporal appreciation,
4 and the interlinkages, you know, that we put in place across
5 the electric and gas forecast increasingly, and work with the
6 utilities to do that as well on their side. And then really
7 match those up and work through all these issues in an open
8 way is real critical.

9 It's just, it's -- that process can really make some
10 better product and it's essential to getting it right and
11 rolling with reality over time, so I'm really appreciative of
12 this process and the presentations here today both from staff
13 and from utilities.

14 With that, I think we're in a good place and building
15 those communication bridges to really be continually drilling
16 on the issues as they come up and then move forward to
17 constructive forecasts itself.

18 So I pop back to you, Commissioner Gunda.


19 COMMISSIONER GUNDA: Yeah, thank you, Commissioner
20 McAllister. I couldn't say that better. I know I just want
21 to thank the staff. You know, we've been going so many
22 different directions over the last especially 18 months.
23 Some heavy lifts from SB 100, AB3232, the building code and
24 all of that has direct implications on the future of gas and
25 how we think about the infrastructure and what we evolved the

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of October, 2021.



ELISE HICKS, IAPRT CERT**2176

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of October, 2021.



Jill Jacoby
Certified Transcriber
AAERT No. CERT**D-633