

DOCKETED

Docket Number:	21-IEPR-03
Project Title:	Electricity and Natural Gas Demand Forecast
TN #:	240010
Document Title:	TRANSCRIPT 8-5-21 Session 2 - IEPR Commissioner Workshop on Data Inputs and Assumptions for 2021 IEPR Modeling and Forecasting A
Description:	TRANSCRIPT 8-5-21 Session 2 of 2 - IEPR Commissioner Workshop on Data Inputs and Assumptions for 2021 IEPR Modeling and Forecasting Activities Forecast Modeling Inputs and Analysis - Forecast Modeling Inputs and Analysis
Filer:	Raquel Kravitz
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	10/7/2021 5:10:32 PM
Docketed Date:	10/7/2021

STATE OF CALIFORNIA
CALIFORNIA ENERGY COMMISSION

In the matter of,) Docket No. 21-IEPR-03
)
2021 Integrated Energy Policy)
Report (2021 IEPR)) Re: Data Inputs and
) Assumptions for 2021
) IEPR Modeling and
) Forecasting Activities

IEPR COMMISSIONER WORKSHOP ON DATA INPUTS AND
ASSUMPTIONS FOR 2021 IEPR MODELING AND
FORECASTING ACTIVITIES
FORECAST MODELING INPUTS AND ANALYSIS

REMOTE ACCESS ONLY

THURSDAY, AUGUST 5, 2021

SESSION 2 OF 2: Forecast Modeling Inputs and Analysis

2:00 P.M.

Reported By:
Martha Nelson, CERT. 00367

APPEARANCES

Commissioners Present

J. Andrew McAllister, IEPR Lead Commissioner

Siva Gunda

Patty Monahan

Staff Present

Heather Raitt, Program Manager

Raquel Kravitz, IEPR Team

Jesse Gage

Annis Bahreinian

Bob McBride

Hazel Aragon

Paul Deaver

Lynn Marshall

Matt Coldwell, Demand Analysis Office

Public Comment Moderator

Dorothy Murimi, Public Advisor's Office

Public Comment

INDEX

	Page
Introduction	
Heather Raitt, CEC, Assistant Executive Director, Policy Development	4
Opening Comments from Workshop Leadership	
J. Andrew McAllister, Lead Commissioner 2021 IEPR	5
Siva Gunda, Commissioner	6
Patty Monahan, Commissioner	6
4. Transportation Forecast Inputs and Assumptions Updates	
Historic ZEV Trends - Jesse Gage, CEC	8
Model Updates - Aniss Bahreinian and Bob McBride, CEC	17 23
Dias discussion with CEC presenters	27
5. Production Cost Modeling - Hazel Aragon and	41
Paul Deaver, CEC	53
Dias discussion with CEC Presenters	65
6. Retail Electricity Rate Assumptions	
Lynn Marshall, CEC	71
Dias discussion with CEC Presenters	
Zoom Q&A on CEC Presentations Moderated by Matt Coldwell	69
Public Comments	86
Closing Remarks	86
Adjournment	88
Reporter's Certificate	89
Transcriber's Certificate	90

P R O C E E D I N G S

1
2 AUGUST 5, 2021 2:00 P.M.

3 MS. RAITT: All right, I will go ahead and start
4 the opening remarks. So, good afternoon. Welcome to
5 today's 2021 IEPR Commissioner Workshop on Electricity
6 and Natural Gas Forecast, Inputs and Assumptions.

7 I'm Heather Raitt, the Program Manager for the
8 Integrated Energy Policy Report, or the IEPR for short.

9 This workshop is being held remotely consistent
10 with Executive Order N-08-21 to continue to help
11 California respond to, recover from, and mitigate the
12 impacts of the COVID-19 pandemic. The public can
13 participate in the workshop consistent with the
14 direction in the executive order.

15 This is the afternoon and final session of this
16 workshop.

17 To follow along with the discussion, the
18 schedule and presentations are available on the CEC's
19 website.

20 All IEPR workshops are recorded and the
21 recording will be linked to the CEC's website shortly
22 following this afternoon. And then a written transcript
23 will be available in about a month.

24 Attendees have the opportunity to participate
25 today in a few different ways. You may ask questions or

1 up vote questions submitted to others for the Zoom's Q&A
2 feature. Or, you can make comments during the public
3 comment period at the end of the afternoon. Or, submit
4 written comments following the instructions on the
5 meeting notice. And written comments are due August
6 19th.

7 And with that I'm pleased to turn it over to
8 Commissioner Andrew McAllister. Thank you.

9 COMMISSIONER MCALLISTER: Thank you, Heather.
10 Nice job this morning. I really want to commend the
11 IEPR team. As usual, just a great level of
12 professionalism in marshaling all the inputs on these
13 workshops. And this is a key one today.

14 This morning we heard about the evolution of the
15 energy demand assessments, and then went through the
16 common case imposed and the assumptions behind the
17 various forecast. And then, got into some of the demand
18 modifiers, including additional achievable energy
19 efficiency, and the new item of Additional Achievable
20 Fuel Substitutions.

21 And so this afternoon we're going to continue
22 along those items and include -- and talk about the
23 transportation forecast, inputs and assumptions, and
24 some of the production cost modeling that's behind the
25 forecast as well. And then, talk about the retail

1 electricity rates which is, I think, in more top of
2 mind, certainly, than in past forecasts, and at least as
3 important as always. So, looking forward to that.

4 So, with that I'll pass the mic to my colleagues
5 on the dias, Commissioner Gunda and Commissioner
6 Monahan.

7 COMMISSIONER GUNDA: Thank you, Commissioner
8 McAllister. Echo your comments, I think the morning
9 session was excellent. I think it was really
10 informative on setting up the trends. And thankful to
11 you and Commissioner Monahan for raising some important
12 things to consider as we evolve the forecasting. So,
13 I've been taking notes. So, look forward to the
14 afternoon session. Thank you.

15 COMMISSIONER MONAHAN: Well, I'm particularly
16 interested, as you might guess, in the first part of the
17 afternoon transportation. With the governor setting a
18 very aggressive executive order of basically everything
19 in transportation mode, whether its on-road or off-road,
20 be electric or zero emission by -- within the next 15 to
21 25 years. Very, you know, aggressive. Although, as
22 we've seen especially battery price declines over the
23 last decade, there's just a lot of room for optimism in
24 terms of these vehicles being cheaper than conventional
25 vehicles.

1 So, just a warning, I probably won't be able to
2 stay for the full day. I'm actually in New York today,
3 and so on vacation, but I couldn't miss the IEPR
4 workshops because they're a draw. So, thanks for the
5 IEPR team and EAD, thanks to my fellow Commissioners for
6 making this a really informative and helpful session.
7 And we're missing some of my family today.

8 COMMISSIONER MCALLISTER: Well, thank you for
9 your dedication. I did not know that. So, that means a
10 lot. But yeah, certainly.

11 COMMISSIONER GUNDA: Absolutely. Thank you,
12 Commissioner Monahan, that's awesome. Thank you so
13 much.

14 COMMISSIONER MCALLISTER: Yeah, well thanks even
15 more for being with us.

16 Great. Well, so I'll pass the mic back to
17 Heather and we can get started on the transportation
18 forecast.

19 MS. RAITT: Great. And I just have to echo my
20 thanks to Commissioner Monahan. That's amazing that
21 you're joining us. So, thank you.

22 Our first presentations from Energy Commission
23 staff are going to be discussing transportation. And
24 so, Jesse Gage is first and he's presenting on the
25 Historic ZEV trends. Followed by Aniss Bahreinian and

1 Bob McBride, representing on model updates. Jesse is
2 the Lead Analysis for our DMD vehicle registration data
3 in the Energy Commission's Demand Analysis Office.

4 And so, then I'd just like to suggest that we
5 hold questions until the end of the presentations on
6 transportation.

7 So, with that I'll go ahead and ask you to take
8 it away, Jesse. Thank you.

9 MR. GAGE: Thank you. And good afternoon. I am
10 Jesse Gage. And among other things, I am the
11 Commission's primary analyst for the DMV's vehicle
12 registration database. This database is a quarterly
13 snapshot of every new vehicle registered in the State of
14 California.

15 We use this data to provide the base year light-
16 and heavy-duty vehicle stock forecast inputs for our
17 forecasts. This database also serves as the primary
18 source for our ZEV Stats data portal. You all have
19 heard of ZEV Stats, right? Somehow, I'm hearing a
20 couple of no's through Zoom, so how about we take care
21 of that right now.

22 Next slide, please. Next one after that. Thank
23 you. We at the CEC have developed what we believe to be
24 the most comprehensive, publicly available dataset
25 regarding zero emission vehicles in California.

1 If you're doing research regarding sales,
2 population or infrastructure, chances are you can find
3 it here. The majority of source data in this
4 presentation is lifted straight off of ZEV Stats.
5 Second quarter data just showed up on the site Monday,
6 go so ahead and have a peak.

7 The URL is at the bottom of the slide, but
8 little secret you don't need it. Just type ZEV Stats in
9 your search engine of choice, and it's the first hit.

10 Now, with that out of the way, let's get on with
11 the show. The next slide, please.

12 Today we're going to be taking a top side view
13 of ZEV population and sales, both present and historic
14 back to 2013. But first, here are the headlines.
15 Battery electric and plug-in hybrid-electric vehicles
16 are fast becoming a hot item in California. We are
17 easily on track to break our 2018 of ZEV sales by year's
18 end. And there's a good chance that one out of every
19 ten light-duty vehicles will be battery or plug-in
20 hybrid.

21 We'll also take a look at where we're at
22 regarding the targets laid out in active executive
23 orders, a quick dive into the largest of ZEVs, spoiler
24 alert it's Tesla, and show how the catalogue of ZEV
25 models are beginning to look more like the light-duty

1 fleet as a whole.

2 The next slide, please. The early years of the
3 ZEV market saw steady, yet somewhat measured growth,
4 with battery electric and PHEVs running neck and neck.
5 In 2018, however, Tesla released the much awaited, much
6 hyped, and much pre-ordered Model 3, which has become
7 the highest selling ZEV model to date. All electric
8 vehicles solidly outsold PHEVs that year and haven't
9 looked back.

10 2019 saw a slight decline in sales for vehicles
11 in general, both internal combustion and alt fuel.
12 Sales then fall sharply in 2020 because -- because 2020.
13 But Tesla's new Model Y sold a ton, which kept ZEV
14 totals relatively flat.

15 But now, in 2021, well, we nearly hit 2020's
16 yearly total by June, and this is without a Tesla model
17 to carry the load, or at least a new one.

18 Second half yearly sales are usually stronger
19 than the first half, so end-of-year totals could easily
20 hit 200,000 or maybe even a quarter million by year's
21 end.

22 The next slide, please. There are three major
23 executive orders looking to shape zero emission vehicle
24 sales. Former Governor Jerry Brown signed Executive
25 Order B-16-2021, in 2016, which called for one and a

1 half million ZEVs on the road by 2025. Governor Brown
2 then set a significantly more ambitious goal two years
3 later, this time it is targeting 5 million ZEVs by 2030
4 as part of EOB-48-18.

5 You can see here that the 2025 target is easily
6 within our grasp. With ZEV sales growing the way they
7 are, I'd say it would be tough not to make that goal.
8 Five million by 2030, however, well, that's going to be
9 a climb. And it's plain to see here that so-called
10 business as usual is not going to get us there.

11 Last year, our current governor, Gavin Newsom,
12 pulled out the big gun, Executive Order N-79-20, with
13 the goal of eliminating light-duty ICE sales entirely by
14 2035. Now, that EO doesn't come with a hard target of
15 how many ZEVs need to be sold why when, which is why
16 I've not placed it in this chart. But just in case 5
17 million wasn't ambitious enough for you, ARB's Mobile
18 Source Strategy suggests we'll have 7.8 million ZEVs by
19 2030, if we're to meet that EO.

20 As far as what here at the Commission think N-
21 79-20 will mean for sales in 2030 or 2035, well, that's
22 why we do this forecast, so stay tuned.

23 And before we go to the next slide, I should
24 give a mention to the Biden administration's new target,
25 published this morning, where half of all ZEV sales will

1 be -- or half of all light-duty sales will be ZEV by
2 2030. If that goes through, I did some napkin math and
3 that will probably mean probably about a million,
4 million and a half new light-duty vehicles on the year
5 every year between 2030 and 2035, when 79-20 takes
6 effect.

7 So, with that, next slide, please. We and the
8 public talk a lot about Tesla, to the point where for
9 years now they've become almost synonymous with electric
10 vehicles, and even alt fuel in general. What's
11 interesting to note, however, until the Model 3 hit that
12 wasn't really the case. The Model S came in second that
13 year, sandwiched between Chevy's Volt, with a V, and
14 Bolt with a B, respectively. You also had the Prius
15 Prime Model X and the Fiat 500e moving more than 5,000
16 units each.

17 Clearly, the Model 3 has been dominant since its
18 introduction, but only in 2020 did Tesla gain a majority
19 of the ZEV market, and even then just barely.

20 Now what, you may ask, are the hot models
21 selling this year? Great question and not just because
22 I asked it.

23 Let's take a look, the next slide, please. If
24 we look at the top ten sellers for this list on the left
25 here, we of course see Models Y and 3 at the top, with

1 over 25,000 units moving each, with more than double the
2 sales of runner's up Chevy Volts and Toyota Prius Prime,
3 both with sales a bit over 10,000. I will note that the
4 Bolt, however, is having a pretty strong year this year,
5 compared to the last year despite being in the same
6 generation.

7 After that you have several in the 2,000 unit
8 range, but I -- call this a hunch, but I think Ford's
9 new Mustang Mach-E will probably be the one to watch on
10 this list as it's got quite a bit of buzz on the
11 internet.

12 On the right is the all time best seller. No
13 surprise that the Model 3 is tops here, with Tesla's S,
14 Y and X models all in the mix.

15 The old PHEV Volt is still second all time. And
16 the list is rounded out by familiar faces in the LEAF,
17 Prius Prime, Fusion Energi, and the 500e.

18 Next slide, please. All right, enough talk
19 about how many ZEVs have been sold. Let's look a little
20 bit about who's buying them. We broke out our light-
21 duty models into four sectors, namely personal,
22 commercial, government and rental fleets. And by the
23 latter, I mean in the traditional sense where, you know,
24 you get off your plane, grab your luggage, your Ford
25 Focus for the weekend, that sort of thing. Not so much

1 the TNCs.

2 Personal vehicles, not surprisingly, make up the
3 vast majority of the light-duty fleet. And commercial
4 vehicles are most of the rest, while government and
5 rental vehicles are only about 1 percent each.

6 On the right you will notice that while the
7 personal and commercial fleets have about the same
8 amount of ZEV penetration, the government sector has
9 almost more than -- well, more than twice the ZEV
10 penetration as the personal and commercial fleets, while
11 rental has hardly any at all.

12 It's not too hard to imagine why government
13 would have so many more ZEVs. In theory, this is more
14 of a policy decision rather than a market decision you
15 would see in the personal and commercial sectors.
16 Although, there still are a couple barriers to entry,
17 even with government.

18 First of all, it might be -- I'm not a policy
19 wonk (phonetic), so I don't know how top down the state
20 can make it, but only about 7 or 8 percent of government
21 vehicles are state owned. The rest are county and
22 local, for the most part.

23 Also, about two-thirds of those vehicles are
24 pickups and vans, which right now don't have much, if
25 any, representation in the ZEV market.

1 And then there's rental, where I'm looking for a
2 good reason why there's so few and I can't find it. I
3 think it's a good question. I'll note that as bad as
4 this looks, I think the reality might be even worse
5 because almost all the rentals, ZEV rentals on the road
6 are from a single purchase of Model S's, back in 2018.

7 The next slide, please. Next slide. Thank you.

8 One trend I've noticed over the years is that
9 after several years of concentrating on the passenger
10 car market, the ZEV industry is diversifying
11 significantly. It's no surprise that SUVs have, to a
12 great extent, replaced sedans in the broader light-duty
13 market, with 44 percent of available ICE models, as
14 compared to 34 percent for cars.

15 The ZEV marketplace now is starting to match
16 this much closer, with about an even mix of passenger
17 cars and SUVs. We still need some pickup trucks, which
18 I mentioned last slide, which is why the Ford F-150
19 Lightning already has somewhere north of 120,000
20 preorders nationwide, ahead of its projected spring 2022
21 launch.

22 The next slide, please. One area where
23 manufacturers may be missing the mark is when it comes
24 to PHEVs and full electrics. We saw earlier that the
25 parity in sales between the two was soundly broken in

1 2018, but that hasn't stopped manufacturers from
2 continuing to design more PHEV models than full
3 electric.

4 I can't say if this reflects lag in development
5 time, or traditional manufacturers just testing the
6 waters when it comes to consumer range anxiety, be it
7 what you will. But a more deliberate way from internal
8 combustion entirely would be quite welcome from a GHG
9 perspective.

10 The next slide, please. Finally, I've said an
11 awful lot today about battery electric and plug-in
12 electric vehicles, but as someone who just got himself a
13 hydrogen fuel cell vehicle, I'd be remiss if I didn't
14 shed a little light on the dark horse in the race.

15 The nascent FCVE industry hit a bit of a
16 milestone last quarter as the 10,000th fuel cell vehicle
17 was sold in California, or more likely leased as the
18 free fuel card that comes with FCVEs is only good for
19 the three years, whether or not you lease or buy. So, I
20 think most people are leasing them.

21 When it comes to available FCVE models, it's
22 unfortunately pretty slim pickings. Most popular by far
23 is the Toyota Mirai, which comprises about 80 percent of
24 FCVE sales. It's been around since 2015 and
25 consistently has sold about 1,500 units per year until

1 it was pulled in 2020 for a redesign, which came out at
2 the end of the year.

3 Honda's Clarity FCVE, meanwhile, has been nearly
4 all the rest, but will no longer as it's being
5 discontinued with production stopping this month.

6 And then at the bottom you've got my ride, the
7 Hyundai Nexo, which is the sole SUV of the bunch. I got
8 mine about two weeks ago and I know I can't exactly give
9 a professional endorsement here, but I'll definitely
10 vouch for it on a personal level. It drives quiet, and
11 smooth, and it's got cruise control but it kind of feels
12 like witchcraft. It loves hills. I love taking it on
13 drives. And I'm pretty sure my riding partner there
14 agrees.

15 The next slide, please. And that's the news as
16 far as ZEV goes. I believe we are taking questions at
17 the end of the session, so unless there are any comments
18 I think we can pass it over to Aniss and Bob.

19 MS. RAITT: Great. Thank you, Jesse. Yes,
20 Aniss, go ahead please.

21 MS. BAHREINIAN: Good afternoon Commissioners
22 and stakeholders. My name is Aniss Bahreinian and I'm
23 going to focus on the model and input updates for the
24 light-duty vehicle forecast.

25 Next, please. The updates that we're talking

1 about include different categories. One is the
2 forecasting input and any of the -- well at least two or
3 three of the last IEPRs we have been essentially
4 updating the inputs. But this year, we're also updating
5 the model.

6 In addition to updates in models and input, we
7 are also updating the light-duty vehicle classes. We
8 have changed the way we are classifying vehicles.

9 Next, please. The inputs to the light-duty
10 vehicle demand forecasting are many, but here we are
11 going to talk a few key inputs and how they have been
12 updated.

13 One is the economic and demographic data, and we
14 use a lot of that in forecasting household vehicles,
15 light-duty vehicle demand. We are using macroeconomic
16 forecasts by Moody's, as well as population forecast by
17 Department of Finance that Cary Garcia has already
18 referred to them. But in addition to those, we are also
19 using the 2019 American Community Survey data because we
20 need to have a finer breakdown of the households by
21 income, and other categories that we are going to see
22 later in this presentation.

23 In addition to economic and demographic data, we
24 also have, obviously, energy prices. And our energy
25 prices are along the same line that are used in other

1 forecasts, in electricity and natural gas demand
2 forecasts.

3 And vehicle attribute is a very important input
4 data to our model and it is one that drives the ZEV
5 penetration. And so, it is quite important to update
6 the vehicle attributes. We have updated all of the
7 vehicle attributes, such as vehicle prices, fuel
8 economy, fuel costs, and acceleration, and others.

9 And we are also updating the technology
10 introduction tables and elimination schedule.
11 Technology introduction schedule identifies which fuels
12 and technologies are being introduced in what year. And
13 that is very important to the forecast of ZEVs for
14 instance.

15 But it also identifies which vehicles and fuel
16 types are deleted from a specific class of vehicle. For
17 instance, there are a number of classes of flex fuel
18 vehicles, and diesel vehicles, in which there are no
19 longer any production and so we are excluding them from
20 the forecast.

21 The 2021 forecast also differentiates between
22 luxury and standard vehicle attributes. So, for
23 instance the prices of Model S versus Model 3 are going
24 to be different. This is going to increase the volume
25 of data and computation that we will have for the light-

1 duty vehicle forecast. Because, essentially, we have
2 most of the classes in light-duty vehicles are offered
3 in both luxury and standard levels.

4 Light-duty vehicle attribute forecast this year,
5 in 2021, also includes one scenario on the 2035 ICE
6 sales ban. We don't know exactly in which scenario we
7 are going to use it. But as Commissioner Monahan
8 mentioned, more likely it's going to be an aggressive or
9 other scenarios.

10 The forecasting horizon for light-duty vehicle
11 forecast is 2021 to 2035.

12 Next please. In addition to updating the
13 inputs, this year we are also re-estimating the models,
14 the light-duty vehicle models. And consumer preferences
15 in the newly estimated models reflect what happened in
16 the California Vehicle Survey. So, it reflects the
17 consumer preferences in the residential and commercial
18 market segments, as captured by 2019 California Vehicle
19 Survey.

20 The 2021 models differentiate between luxury and
21 standard, and identifies different consumer preferences
22 for luxury versus standard vehicles.

23 In the 2021 model we also have a higher
24 resolution of income category. We have 10 income
25 categories versus 7 income categories in prior

1 forecasts. So, we have a finer breakdown of income.
2 Each of these income categories, households in these
3 income categories are further broken down by household
4 size, by the number of workers in the household, and the
5 number of vehicles that they own. All of these are
6 going to add up to 513 household types versus 362
7 household types in prior forecasts. So, you can clearly
8 see that this is going to increase computational demand
9 on the forecasting software.

10 On top of that, we have made another change in
11 our models and rebate incentives now have an income
12 criteria. And with this change we are able to be more
13 consistent with current CVRP practice that uses an
14 income criteria in awarding rebates for ZEV vehicles.

15 Next please. Finally, we have new vehicle
16 classifications. We have now 15 new classes versus 18
17 legacy classes that we used in the past. The changes
18 that we have made are focused in the red rectangle that
19 you see there, SUV and crossover. What we have done, we
20 have combined SUV and crossover together, rather than
21 having one body type as SUV and another body type as
22 crossover SUV, mostly because consumers essentially
23 consider them the same, and even the manufacturer
24 sometimes present them as the same. Although, they are
25 not exactly the same, but what is important is how do

1 consumers perceive them.

2 By combining those categories, we have reduced
3 the formerly 7 categories, into 4 categories. We have
4 kept compact, midsize, and large SUV crossover. And we
5 have added another classification for subcompact SUV.
6 We didn't have this in the past, so now we have a
7 subcompact SUV crossover.

8 And in the past we also had a heavy light SUV,
9 which was 8,500 to 10,000 GVWR, and we have deleted that
10 one from our SUV classification, because it is no
11 longer being produced.

12 Now, notice that light-duty vehicles in our
13 forecast are considered anything up to 10,000 gross
14 vehicle weight versus CARB that uses 8,500 as the
15 threshold for LDVs. The reason for it is that our staff
16 analysis of the DMV data shows that these vehicles are
17 used both in the household sector and in the commercial
18 market segment. And so, we have decided that we need to
19 include that class in our light-duty vehicle categories.

20 I believe NHTSA has the same. They have the
21 10,000 threshold criteria versus 8,500 criteria that is
22 used by CARB.

23 Next please. Thank you very much for your
24 attention and I'll be happy to answer any questions that
25 you may have. With this, I'm going to pass it on to Bob

1 McBride, who is going to talk about medium- and heavy-
2 duty vehicles.

3 MR. MCBRIDE: Good afternoon Commissioners,
4 stakeholders, and staff, and interested public. I'm Bob
5 McBride. I work on the medium- and heavy-duty truck
6 choice and energy demand forecasts, as well as vehicle
7 movement in general.

8 The next slide, please. Yeah, here's a grouping
9 of weight classes with pictures of typical vehicles, for
10 your reference, if you haven't seen this before. We
11 make the light and heavy -- light- and medium-duty split
12 at 10,000 pounds gross, or loaded weight, as Aniss
13 explained.

14 Next slide, please. Today I'll be going over
15 changes we've made in the truck choice and the freight
16 energy demand models, and data since the 2020 forecast.
17 Economic growth trends for our three common electricity
18 demand cases will be refreshed using recent econ demo
19 data from Economy.com.

20 CARB's Emission Factors Model, EMFAC, truck
21 classes have changed for 2021 to reflect finer grain
22 representation of weight classes. Previously, these
23 could be lumped to our -- to confound us, mostly.

24 For this reason, we designed our classes to stay
25 comparable with the new EMFAC ones going forward. We

1 use the California Bias Survey results to allocate
2 freight tons to the new larger set of weight classes,
3 where previously we did this for only interstate and
4 instate Class A tractor trailer classes.

5 Our consultant, ICF, is referring the truck
6 purchase prices used in the Choice Model, and has mapped
7 fuel economies from EMFAC for the first time to our
8 larger set of fuel types.

9 The matrix we use to define which combinations
10 of truck class and fuel types exist and when, and when
11 they're likely to be commercialized has changed to keep
12 pace. So, you'll see that.

13 Battery electric trucks will no longer be
14 restricted in the Choice Model to drive cycles at or
15 under their nominal range, since we now assume a system
16 for en route charging.

17 We've also updated our representation of
18 intermodal rail and truck. That's containers and truck
19 trailers that go via rail, and the trucks that pick them
20 up or drop them. We use Federal Confidential Rail Way
21 Bill data that's also used for the Caltrans Freight
22 Model to do this.

23 The next slide, please. Here's our new list of
24 modeled truck classes in rows and our changed roundup of
25 fuel types in columns, just as a reference. Please

1 don't read this right now. This is analogous to the
2 light-duty technology introduction and elimination
3 schedule Aniss talked about. We've now included a PHEV,
4 but we no longer cover dedicated ethanol or catenary
5 electric, since those simply did never take off. The
6 earlier years of introduction are not intended to be
7 historically accurate, but to set which fuel types
8 should be regarded as fully mature in the Choice Model.

9 Yellow highlighting shows changes we've made in
10 consultation with ICF this year. And we're still
11 pondering the inclusion of the four cells shown in
12 reddish tan.

13 Next slide, please. We're using the new EMFAC
14 2021 data in these four ways. A long-term goal is
15 realized in this version since the EMFAC work embedded
16 data from the 2018 Caltrans modeling, particularly the
17 freight forecasting model they did in 2018.

18 We're using 2019 as our base year, conveniently
19 the last year of historical data in EMFAC.

20 Modeling driving, annual miles per truck data by
21 class, by fuel and by vintage was rendered smoother by
22 using fitted equations.

23 Survival rates from EMFAC are also fitted to
24 colonial equations, allowing us to represent
25 retirement, as well as imports, and purchases of used

1 trucks, all within the statewide and South Coast Truck
2 Rules, where they're appropriate.

3 We worked with ICF to map EMFAC fuel economy
4 data to our larger set of fuel types, supplementing
5 fuels reported in EMFAC using the federal GREET Model,
6 and our existing data from HD Systems.

7 Next slide, please. Here's a chart showing
8 truck classes in yellow, that we assigned to hauling the
9 freight tons, the commodity freight that's in freight
10 analysis framework.

11 And in blue, the truck types which are service
12 trucks primarily, but used as needed to haul freight
13 that's left over after the yellow class.

14 Orange for refuse and dump trucks means a
15 specific commodity group is only allocated to a single
16 truck class. For dump trucks that's rubble, sand, and
17 nonmetallic minerals. Yes, this includes dirt.

18 The next slide, please. So, thank you for your
19 kind attention. It's time for questions from the
20 virtual dais and public on all of the transportation
21 presentations.

22 COMMISSIONER GUNDA: I can see Commissioner
23 McAllister might have questions.

24 MR. MCBRIDE: But he's muted.

25 COMMISSIONER MCALLISTER: Sorry, sorry. Sorry,

1 I was double muted again. Sorry about that. Yeah, just
2 thanks for the presentations. I actually want to defer
3 to Commissioner Monahan because I have a lot to learn
4 from her as well, and I think it's appropriate she be on
5 point, if you'd like that, Commissioner Monahan.

6 Thanks.

7 COMMISSIONER MONAHAN: Well, I first want to
8 thank Jesse, Aniss and Bob for all the work that they
9 have done. You know, I want to start with Jesse and his
10 ZEV data portal. I know that you personally, Jesse,
11 have done a lot of work to clean up the DMV data and
12 that it's yeoman's work. It's really hard. And so, I
13 just want to thank you for that. So, it was great to
14 see your enthusiasm, which was infectious, and actually
15 mirrors mine when it comes to talking about ZEVs and
16 that ZEV data portal. I can't tell you how happy I am
17 about that ZEV data portal. I hope everybody who hasn't
18 gone on is using this opportunity to go onto it because
19 it's very cool.

20 And Jesse's right, it's the best data that
21 exists out there. I mean it was shocking to me when I
22 started at the Energy Commission, well, at my old job I
23 used to pay for people to get access to Polk data, which
24 is a summary of ZEV data. And I was like, what,
25 California doesn't publish this data? That's crazy.

1 And then I understood why because it's actually really
2 hard to work with DMV, get the right approvals. You
3 know, so I love that portal. I can't wait for it to
4 continue to expand.

5 It has school bus data right now. And as Jesse
6 said, they're trying to get medium- and heavy-duty, but
7 it's hard because you have to have a certain number of
8 models before you get assigned a unique code identifier
9 in the DMV database to let you tell that it's zero
10 emission. So, trying to work through that and,
11 hopefully, we can get good data on medium- and heavy-
12 duty vehicles, as well as school buses.

13 I mean it's kind of shocking me we couldn't get
14 good data on school buses. Which we could get data on
15 the school buses that we funded, but that's just about
16 it.

17 So, you know, that is going to be our challenge
18 I think for the next several years is to figure out good
19 ways to track where these electric and zero emission
20 vehicles, whether they're fuel cell electric or battery
21 electric. Who's buying them, what they are, Class 6,
22 Class 8, school buses, transit buses. Now that we have
23 all this money for ZEVs in the budget, 1,000 school
24 buses, 1,000 drayage trucks -- 1,125 drayage trucks, I'm
25 sorry, and 1,000 in transit buses, we need a way to

1 track our progress. So, this data portal is a way that
2 we get to be held accountable.

3 Yeah, I'm psyched about it, as you can tell.

4 COMMISSIONER MCALLISTER: We can.

5 COMMISSIONER MONAHAN: And I do also want to
6 thank Aniss and Bob. There's just been a lot of work
7 done to refine -- I mean consumer choice modeling and
8 the passenger vehicle side, it's hard. Because
9 consumers, as we all know, are whimsical creatures and
10 we have different what we like. Even in the medium- and
11 heavy-duty, sometimes they don't like -- like they like
12 trucks that are kind of old school, that aren't very
13 fuel efficient, because they're cool. They're cooler.
14 So, the whole like what's cool is kind of hard to figure
15 out sometimes.

16 And I think it will be really interesting -- I'm
17 just making comments and then I'll pass this on. I
18 think it will be really interesting, actually, as we see
19 these vehicles like the Lightning, with the capability
20 to give power back to your homes, and power your power
21 tools, and all of the sudden these vehicles aren't just
22 like mobile devices, but they're also -- they do all
23 these other cool things and we have to figure out how to
24 value those cool things, and quantify what that means in
25 terms of consumer choice preferences.

1 So, I mean, but the team is like on the cutting
2 edge of a lot of this work. And I think what we're
3 going to do is we're going to be in a state of deep
4 learning over the next several years as these vehicles
5 roll out into the marketplace, and we see what gets
6 adopted and what doesn't.

7 I mean the manufacturers spend millions of
8 dollars on consumer choice evaluation to figure out what
9 they're going to put in their new model, and they don't
10 get it right all the time.

11 So, you know, this is hard work and just
12 appreciate this team's openness to like exploring these
13 kind of cutting edge issues when it comes to
14 electrifying both passenger vehicles and trucks.

15 So, a lot of commentary, not really questions.

16 COMMISSIONER MCALLISTER: Great, perfect. Go
17 ahead, Commissioner Gunda.

18 COMMISSIONER GUNDA: Yeah, Commissioner Monahan,
19 thank you. I cannot -- you're really good at showing
20 the enthusiasm. I've been raised kind of like to hold
21 it down. But I'm really glad you went before you
22 because I feel just as enthusiastic. And I don't get to
23 see Aniss, Jesse and Bob as much as I used to a few
24 years ago, and I just want to congratulate them for all
25 the good work, and your leadership, Commissioner Monahan

1 on kind of raising some key policy questions and
2 directing the team to kind of explore those analyses
3 that can get to those policy questions. So, just thank
4 you for that.

5 A couple of also acknowledgements I just want to
6 make is, you know, Heidi, I think Matt, and Aleecia have
7 all been kind of working behind the curtain and I just
8 want to thank them as well for their work.

9 And so, a couple of comments or question, I
10 think that this is a question. And specifically to your
11 presentation, I think slide number 5, so you kind of
12 talked about reclassing the number of buckets. Could
13 you just kind of expand on how that might continue to
14 kind of help us sync with CARB and such, or kind of what
15 are the implications of that in terms of the broader
16 statewide alignment in thinking these analyses?

17 MS. BAHREINIAN: I think it is essentially going
18 to make it a little bit more real because consumers, in
19 so many ways, are considering SUVs, and crossover SUVs
20 the same. And then, on top of that, as I mentioned,
21 heavy SUVs are not even being manufactured anymore, so
22 they are out of the market.

23 So, we needed to do this reclassification in
24 order to bring it more to reality, make it a bit more
25 accurate. Because even some of the manufacturers,

1 themselves, are presenting crossovers as SUVs. Not all
2 of them, but some of them are presenting it as SUVs.

3 So, we have to get back in the mind of the
4 consumers. That's our job here. And so, we try to make
5 it a bit more realistic when it comes to SUVs and
6 crossover. Hopefully, it is going to increase the
7 accuracy a bit more.

8 COMMISSIONER GUNDA: That is great. And I want
9 to take the opportunity to thank you for drilling into
10 the details of the modeling for several years.

11 So, with that I guess one additional question is
12 we've kind of, over the last several years you've been
13 trying to incorporate some incremental improvements on
14 the miles, you know, traveled by each model based on the
15 different analysis. Has there been kind of progress in
16 us being able to just drill down a little bit more into
17 kind of like reality versus kind of the averages?

18 MS. BAHREINIAN: We do have some survey data on
19 vehicle miles traveled. But the way the models are
20 working right now, as you know, the urban and intercity
21 models are taking on that role of accounting for the
22 vehicle miles traveled for long distance and short
23 distance travel.

24 We also tried to true up the VMT numbers that we
25 are getting from the surveys by using a dual odometer

1 reading. That was one of the efforts that we made in
2 creating more accuracy.

3 Unfortunately, perhaps it was because we didn't
4 have enough incentive, we didn't get as many of the
5 survey participants to take part in that because it was
6 an additional task that we were asking the survey
7 respondents to do. Two months later they either had to
8 look up into their existing records or they had to
9 report the VMT on their vehicle's odometer two months
10 later.

11 So, we did get some results, but it wasn't as
12 many as we had hoped for. So, perhaps in the next
13 survey we are going to make more advances.

14 COMMISSIONER GUNDA: Thank you. Thank you
15 Aniss. So, just a closing comment from my end. I think
16 similar to what happened in the morning presentations,
17 the way that Jesse set up the trends is extremely
18 helpful from kind of having -- being able to ask clear
19 policy questions.

20 And also, Bob, your table on why you're making
21 decisions on not including certain technologies, like
22 try things -- and why, I think that's very, very
23 helpful. And I think being able to -- I just wanted to
24 request the team to develop some sort of a publication
25 material that we could more broadly share with the

1 agencies, even a summary, a couple-page summary on our
2 high level thinking would be really helpful.

3 So, with that I'll pass it to Commissioner
4 McAllister.

5 COMMISSIONER MCALLISTER: Thank you very much.

6 COMMISSIONER MONAHAN: Oh, and can I just --

7 COMMISSIONER MCALLISTER: Oh, go ahead.

8 COMMISSIONER MONAHAN: I'm sorry, can I just
9 make one comment on this just because I think the
10 mileage, there's been a lot of controversy around how
11 many miles are electric vehicles actually driven. And
12 I, too, would just encourage the team to get more
13 current data on that question, especially in the
14 passenger vehicle suite. I think it will be easier to
15 get commercial vehicle data.

16 But I've seen a lot of conflicting data. I know
17 that in our last survey there was some indication that
18 newer electric vehicles are driven more miles than
19 conventional vehicles and that's a curious finding, one
20 that we, I think, need to explore more deeply about how
21 durable that is given sort of the lack of -- you know,
22 we just didn't have enough respondents to be as
23 definitive as we would like.

24 So, that's a really foundational question. And
25 I like what Commissioner Gunda was saying, too, about

1 being more transparent and public about what we were
2 finding, even if what we're finding is preliminary and
3 needs deeper analysis or needs more data to be able to
4 really verify. Because these are such important
5 analytical questions for the broader community that I
6 think we should be bold and transparent in sharing that
7 data.

8 MS. BAHREINIAN: Certainly.

9 COMMISSIONER MCALLISTER: Bob, did you want to
10 -- sorry. I think Bob wanted to make a point about, I
11 think, Commissioner Gunda's last question. So, maybe we
12 can close that out, if you still have that point you
13 want to make, Bob.

14 MR. MCBRIDE: Yes, thanks Commissioner. There's
15 a tie-in here. We've been using, for several years, the
16 smog check data, which is quite detailed and has vehicle
17 mile checkpoints. They do an odometer reading when you
18 get a smog check. So, we have a set by the light-duty
19 and now, increasingly, medium- and heavy-duty vehicle
20 classes of how far each vintage goes a year.

21 On the electric vehicle side I would say there's
22 some good research at UC Davis, in their ITS section
23 that regularly surveys this. They're contracting with a
24 group at ARB. So, that's what I have.

25 COMMISSIONER MCALLISTER: Can I maybe just --

1 so, let me just interject one thing. So, are we -- do
2 we have access to state insurance information or
3 something? Because, you know, nominally, I'm not sure
4 if every -- this applies to every passenger vehicle but,
5 you know, your insurance, you're at least supposed to
6 tell them how many miles you drive roughly, and they ask
7 for an odometer reading every time you, you know, update
8 your insurance. I wonder if we could have access to
9 that information to actually dig into this a little
10 more. Maybe we don't quite have the authority to do
11 that, but I wonder if there's a way to get that.

12 COMMISSIONER MONAHAN: But it's also classic
13 under-reporting, Commissioner McAllister.

14 COMMISSIONER MCALLISTER: Yeah. Oh, yeah, no
15 doubt about that.

16 COMMISSIONER MONAHAN: So, there's a bias on
17 that one.

18 COMMISSIONER MCALLISTER: There's a bias. Oh,
19 yeah, for sure. Yeah.

20 MS. BAHREINIAN: So --

21 COMMISSIONER GUNDA: Commissioner just --

22 COMMISSIONER MCALLISTER: How about Commissioner
23 Gunda and then, Aniss, you want to respond.

24 MS. BAHREINIAN: Yeah.

25 COMMISSIONER MCALLISTER: Go ahead.

1 COMMISSIONER GUNDA: Yeah, Commissioner, just
2 kind of I think to Commissioner Monahan's comment. I
3 just want to put a plug for our kind of the Energy
4 Insights venue. I think it may be a really good
5 opportunity to just kind of write a two-pager that just
6 kind of flags this workshop and some of the incredible
7 information that Jesse put together.

8 As I was thinking about having, clipping out
9 Jesse's thing and then just putting it on YouTube, and
10 just saying here you go, that status. I think it might
11 be a helpful way for us to just frame this transparency
12 as Commissioner Monahan was mentioning.

13 COMMISSIONER MCALLISTER: Yeah, I agree. So, I
14 do have one more questions but, Aniss, did you want to
15 close out the previous topic?

16 MS. BAHREINIAN: I just wanted to respond to
17 Commissioner Monahan's question on VMP. That's a very
18 good question that you raised. I should add, however,
19 that when we are looking at the survey data, if we are
20 only looking at the households, more or less at the
21 household, and those that have EVs are -- have the same
22 VMT as others.

23 However, the data that was quoted included also
24 the commercial vehicles. When you add the commercial
25 vehicles, commercial vehicles have higher VMT compared

1 to residential. And when it comes to the distribution
2 of commercial and residential, ED owners in the surveys,
3 it's almost half and half.

4 But when you're looking at -- when you're
5 looking at data in the DMV, commercial is about 10
6 percent of the vehicles. So, we need to make these
7 distinctions and these refinements. Whenever we are
8 using that data, we need to clarify that. And thank you
9 for the point you raised.

10 COMMISSIONER MCALLISTER: Thank you, Aniss. So,
11 I have one question that it's unrelated to what we
12 talked about so far, and it's for Jesse, primarily.

13 Does the DMV data give you any insight into the
14 used car market? Like can you do longitudinal, you
15 know, about what a given VIN, what happens to it through
16 its lifetime and, you know, maybe even get some insight
17 on the equity issues?

18 MR. GAGE: Kind of. Not very easily, however.
19 In theory, you can use it over years to track, you know,
20 where it's moving from year to year. It also has sale
21 price, but along with insurance, you know, it's also one
22 of those things where there's a bias because everybody
23 who sells a vehicle has an interest in lowballing it.

24 It's something I haven't been able to take a
25 whole lot of look at, but it's something we can look

1 into.

2 COMMISSIONER MCALLISTER: It seems like -- you
3 know, I know there's a robust market for used LEAFs,
4 right, any car that comes off of --

5 MR. GAGE: With LEAFs, right.

6 COMMISSIONER MCALLISTER: -- comes off of a LEAF
7 and then goes into the purchase market, and if we do
8 have the locational data around that car, and the VIN
9 number, it seems like we could possibly see what's
10 happening with those vehicles and where it's going.

11 MR. GAGE: Yeah, the used LEAFs is actually
12 something I've taken a look at. I'm not going to try to
13 recall what I wrote because it was about a year ago, so
14 I'm not going to try to recall it off of memory.

15 COMMISSIONER MCALLISTER: Yeah.

16 MR. GAGE: But, you know, they are often sold in
17 the secondary market. But they're also sold out of
18 state or even internationally sometimes, as well.

19 COMMISSIONER MCALLISTER: Understood.

20 MR. GAGE: And then you've got some, like I
21 think the -- I think one of the off-lease Tesla's, for
22 example, they just take them back and we don't know what
23 happens to them. Apparently, they're using them for
24 like leased, X-leased models or whatever. They're using
25 it for some project that they're not telling us about.

1 COMMISSIONER MCALLISTER: In terms of locational
2 data have you done any like disadvantaged community, or
3 overlays, or you know, the EnviroScreen or something
4 like that?

5 MR. GAGE: I have not done that at this time,
6 sorry.

7 COMMISSIONER MCALLISTER: Okay. Okay, great.
8 Thanks.

9 Anybody else have any questions? I really
10 enjoyed this presentation, really terrific stuff. It's
11 amazing how much information we have and the integration
12 of the information is just so enlightening, you know, it
13 really helps us chart a good policy direction.

14 And Commissioner Monahan, thank you for your
15 leadership on this, it's really tremendous.

16 So, with that I think do we want to -- let's
17 see, we just had dais discussion. Are we going to wait
18 to public comment to the end?

19 MS. RAITT: Yeah.

20 COMMISSIONER MCALLISTER: And maybe, Heather,
21 you know, move on to the production cost modeling.

22 MS. RAITT: Yeah, so we'll go on to the
23 production cost modeling.

24 COMMISSIONER MCALLISTER: Great. Thank you.

25 MS. RAITT: So, thank you. Thanks again, Jesse,

1 Aniss, and Bob that was really awesome.

2 So, our next presenters are Hazel Aragon and
3 Paul Deaver. And Hazel and Paul are both analysts in
4 the Supply Analysis Office. So, go ahead Hazel.

5 MS. ARAGON: Good afternoon, I am Hazel Aragon
6 with the Planning and Modeling Unit in the Supply
7 Analysis Office. I will be detailing you today the
8 input and assumption changes that went into our
9 preliminary 2021 IEPR model.

10 Paul Deaver, also from the Planning and Modeling
11 Unit, will be describing some preliminary modeling
12 results.

13 So, the next slide, please. So, below are the
14 topics we'll be covering today. I'll start by giving
15 you a brief overview of the common case scenarios.

16

17 Next, I'll cover the changes in the inputs and
18 assumptions built on top of the previous IEPR cycle.
19 And this includes the load forecast, our renewable
20 portfolio build, how we model hydro, and thermal fuel
21 and price input updates.

22 Finally, Paul will cover our modeling results,
23 including the natural gas demand for electric
24 generation, greenhouse gas emission projections, and
25 plant generation in California.

1 Next slide, please. We run the three IEPR
2 common case scenarios, the high, the mid, and the low.
3 So, this table shows an overview of the assumptions
4 used for each case.

5 For example, a high energy consumption case will
6 use the California High Demand Energy Forecast. A low
7 natural gas and greenhouse gas price. A low Additional
8 Achievable Energy Efficiency. And a 60 percent 2030
9 Renewable Portfolio Standard target.

10 We are calling our model preliminary, but it's
11 worth noting that the demand forecast is still using the
12 2020 California Energy Demand Update, which was
13 published on the CEC website earlier this year.

14 The next slide, please. Okay, I will now talk
15 about the preliminary inputs and assumptions.

16 The next slide, please. As previously
17 mentioned, we are using the 2020 California Energy
18 Demand Update for what we're calling our preliminary
19 models. The California Energy Demand has hourly loads
20 and modifiers for the IOUs, which we only modify by
21 adding lead days. It also has annual load and modifiers
22 for POUs, which we convert to hourly data using load
23 shapes.

24 So, we developed load shapes using historical
25 five-year data and use the nearest IOU profile to do

1 this.

2 The mid case scenario uses the mid demand
3 forecast with the mid AAEE. The high case scenario uses
4 the high demand forecast, with a low AAEE. And vice-
5 versa for the low case scenario. I've included the link
6 to the 2020 California Energy Demand Update below.

7 So, the next slide. Outside of California we
8 get our mid case load data from various sources. We use
9 the Western Electricity Coordinating Council as the main
10 source, since most balancing authorities already file
11 directly to the WECC. But we also use the Federal
12 Energy Regulatory Commission 714 filings and any
13 available Utility Integrated Resource Plans when
14 developing our load input data, including behind-the-
15 meter PV.

16 Which data sources were used depended on the
17 balancing authority and our confidence on the data.

18 The high and low cases were developed using the
19 U.S. Energy Information Administration 861 regional
20 electricity sales forecast data by category. If the
21 data looked a little off, as it so happened for a few
22 regions, we look at different sources and make the
23 necessary adjustments to smooth out the growth.

24 The next slide, please. I'm going to get a
25 little more detailed on the out-of-state load, so please

1 bear with me. In putting together the mid case out-of-
2 state loads, we had to develop average monthly load
3 duration curves. This was based on historical data from
4 balancing authority area or state.

5 We create a 2018 base year load duration curve
6 to first order them monthly and then re-order the
7 average load duration curve on the 2018 chronology.

8 For the low and high cases we use the 2020 EIA
9 Annual Energy Outlook to calculate the percent
10 difference between the mid and the low case, and the mid
11 and the high case. This gives us the multipliers to
12 develop the low and the high out-of-state loads.

13 The next slide, please. We updated the
14 retirements and new projects that have come online since
15 the last IEPR cycle, both in California and the rest of
16 the WECC. So, we pull from a variety of sources,
17 including the Hitachi ABB Energy Velocity Suite
18 subscription database, the WECC Anchor Datasets, the
19 Trade Press, and available IRPs.

20 We include the recent proposed once-through
21 cooling compliance data extensions captured through the
22 end of 2020. The retirements, additions and OTC
23 compliance are identical for all common case scenarios.

24 We also include generic renewables, which
25 represent how much additional resources are needed to

1 meet the state's RPS requirements. And this amount
2 varies between the common cases.

3 So, the retirements and addition data are
4 captured up to January 2021.

5 The next slide, please. A total of 5,450
6 megawatts of additional retirements by 2030 were
7 included into our production cost model. These
8 retirements were not previously captured and they're
9 built on top of the last IEPR cycle. These do not
10 include the plants undergoing the coal-to-gas
11 conversions, such as those in Alberta, Canada, since we
12 already have them included into the model.

13 And some plants have shifted their retirement
14 dates, such as Intermountain, so these plants don't
15 count as part of the additional 5,450 megawatts of
16 retired capacity I'm talking about here.

17 WECC-wide, of the 5,450 megawatts, 3,360
18 megawatts are retiring coal plants, 1,740 megawatts are
19 retiring gas plants, and the remaining 340 megawatts are
20 a combination of biomass, landfill gas, and hydro
21 resources.

22 The next slide, please. A large amount of new
23 projects added near term throughout the WECC were solar
24 PV, wind, and battery resources. These included
25 existing projects, those under construction, and planned

1 projects that showed potential for completion in the
2 near future.

3 We did add new biomass that came online or have
4 plans to come online, but this is a very small amount,
5 less than 50 megawatts. So, I did not include this as a
6 chart. No new gas plants were added, since they were
7 already captured in the last IEPR cycle.

8 The left chart shows new solar PV capacity added
9 to the model and aggregated by major region from 2020 to
10 2025. As you can see, there is a large amount of solar
11 development in the Southwest and California. The
12 Southwest Region here represents Arizona, New Mexico,
13 and Nevada.

14 The right chart shows new wind capacity added
15 and aggregated for 2020 and 2021. When we added new
16 wind earlier this year, we only found data for these two
17 years at the time. So, the Mountain Region, which
18 consists of Colorado, Utah and Wyoming show the largest
19 quantity of wind capacity added in 2020, about 1,500
20 megawatts.

21 In 2021, this is in the Southwest, which makes
22 up about 1,400 megawatts.

23 The next slide, please. For battery storage,
24 this table shows new 1, 2, 4, and 5-hour battery storage
25 added from 2020 to 2023. Again, these do not include

1 most recent additions after 2021, so it's very likely
2 many more projects have come online since then.

3 The majority of the additions were located in
4 California and the Southwest. So, as you can see in the
5 chart, the yellow bars indicate 1- and 2-hour batteries
6 in California. The orange bars are 4-hour batteries in
7 California. The dark blue bars are 1-hour batteries in
8 the Southwest. And the lighter blue bars are 4-hour
9 batteries in the Southwest.

10 The next slide, please. I want to include that
11 as part of a preliminary model we modified the existing
12 renewable profiles just slightly to use Pacific Standard
13 Time. And so, this does not adjust for daylight
14 savings. The reason for this that it provides
15 consistent estimates since solar PV generation can
16 change greatly in an hour or two.

17 We also used these profiles to calculate our
18 renewable portfolio build using a spreadsheet tool.

19 The next slide, please. This slide shows a
20 table with estimated RPS energy targets in the mid
21 demand case for all the states that have mandatory RPS
22 targets as of January 2021, for the years 2022, 2026,
23 and 2030.

24 In California, this is based on the California
25 Energy Demand Retail Sales Forecast and Annual RPS

1 Target. Outside of California, this is calculated based
2 on the develop load forecasts we just discussed. The
3 percent of the balancing authority load for retail sales
4 that qualifies for their state's RPS, which we get from
5 WECC. And, of course, the individual state's annual RPS
6 percent target.

7 So, we use these energy targets as a tool to
8 figure out the renewable net short, which is then passed
9 to our spreadsheet tool to calculate approximately how
10 much installed capacity by resources we should add in
11 each scenario. We add this generic capacity to meet
12 those RPS targets where needed.

13 The RPS energy targets differ between the low,
14 mid and high cases, where the high case scenario has a
15 higher energy target to meet due to high energy load.
16 However, I've only included the mid demand table here.

17 The next slide, please. Additional capacity is
18 added to the model as generic capacity to meet the RPS
19 target. This table shows an estimate of how much more
20 total mixed renewable capacity California may need in
21 the mid demand case, in 2022, 2026, and 2030 on top of
22 the existing and planned resources already in the model.

23 You can see how much each resources we have for
24 in-state and out-of-state to meet California's RPS. The
25 amount of projected RPS resources for the high and low

1 case are scaled respectively higher and lower than the
2 amounts shown here in the mid demand case. Again, I've
3 only provided the mid demand table today.

4 The next slide, please. We also did add some
5 generic 4-hour batteries according to major region, but
6 only in the high case. While not specific to the RPS,
7 generic batteries were added to the high demand to
8 achieve zero unserved energy and to improve line flow
9 congestions to specific locations. In California, these
10 were also added to meet a reasonable reserve margin and
11 to meet peak load hours. So, no additional generic
12 batteries were needed in the mid or low scenarios.

13 The next slide, please. Okay, moving along, we
14 updated our hydro generation input data for the IEPR
15 common case scenarios. In other words, these are meant
16 for -- these are not meant for drought scenarios, these
17 are meant for just the IEPR common case scenarios.

18 We developed historical 15-year average monthly
19 data based on QFER data for California and EIA data for
20 the rest of the WECC, for conventional hydro only.

21 In California this is about 27 terawatt hours of
22 annual hydro generation. In the rest of the WECC, it
23 comes to about 211 terawatt hours of annual hydro
24 generation.

25 We add constraints to the CAISO and the Pacific

1 Northwest to ensure that we model a hydro plant's
2 minimum generation close to what it is expected to
3 actually operate.

4 The next slide. The nuclear refueling schedule
5 for Diablo Canyon, Palo Verde and Columbia Generating
6 Station were updated using historical patterns for fuel
7 outages. The outage durations last about 5 weeks every
8 18 months and they don't overlap between the nuclear
9 plants. In other words, you can't have two nuclear
10 plants having an outage at the same time.

11 It's worth noting that the Diablo Canyon units
12 retire in 2024 and 2025.

13 The next slide, please. We updated the natural
14 gas power plant heat rates in California based on the
15 2014 to 2018 hourly public data from the Environmental
16 Protection Agency Continuous Emissions Monitoring
17 System.

18 But for more information on how we updated this
19 model, you can refer to the staff white paper noted at
20 the bottom.

21 Next slide, please. For the price updates we
22 start by updating the deflator series in the model. We
23 updated the greenhouse gas prices where a low demand
24 uses a high price, and a high demand uses a low price,
25 and the mid demand uses the mid price.

1 Paul will present the results on GHG emissions
2 shortly.

3 We made updates to the power plants start costs
4 and variable operations and maintenance costs to our
5 model's thermal units, which I'll get into a little more
6 in detail soon.

7 Finally, we included the July 2021 natural gas
8 burner tip prices provided by our NAMGas Team, which
9 Paul will be presenting the results of. This slide
10 should say July, not June, since we managed to squeeze
11 in another burner tip update.

12 We run iterations with the NAMGas Team, where we
13 basically pass our natural gas use outputs to them and
14 they pass us their natural gas burner tip prices to us,
15 and we cycle through this a few times until both our
16 results converge closely, and we get reasonable results.

17 So, another iteration may be possible soon, but
18 the results shouldn't differ very much with what we'll
19 be showing you today. However, the finalized results
20 for the natural gas use for electric generation will
21 definitely be presented at the NAMGas workshop later
22 this month.

23 Next slide. The thermal price updates included
24 cold start costs and variable operating and maintenance
25 costs. The upper table here shows the thermal category

1 types, start costs and VO&M costs which are noted with
2 the green header columns. And the price difference from
3 the last IEPR cycle, which is noted with the blue header
4 columns.

5 In most cases, this is a small difference and a
6 decrease in either costs. We match our thermal plants
7 to best fit categories according to the WECC Anchor
8 dataset, as well as available Trade Press information,
9 and data on the plant size, heat rate, and age.

10 For example, if the natural gas unit is a
11 combined cycle type technology, it takes on the median
12 cost associated with the typical combined cycle
13 category.

14 The lower table here shows the variable
15 operation and maintenance prices used for biomass,
16 landfill gas, and geothermal plants. These plants
17 previously contained a range of different VO&M prices in
18 the model. Their VO&M prices have been standardized
19 this time around so that the respective technologies all
20 use the same VO&M prices.

21 Next slide. And then, some items we would like
22 to address, permitting the time, finalize any iterations
23 with the NAMGas Team on the burner tip prices, if
24 possible. Update the renewable and battery portfolio to
25 account for the recent CPUC proposal decision, which

1 adds 11,500 megawatts of net qualifying capacity. And
2 apply more emphasis on system reliability not only in
3 the summer, but also in the winter.

4 Our main driver for the resource build is the
5 RPS, not modeling towards reliability. And we're
6 looking to improve this, and especially towards a winter
7 build, when there's less solar in the system and other
8 extreme situations.

9 So, this concludes the portion of the slides
10 relating to the inputs and assumptions. But I just want
11 to say that this was a big team effort in putting
12 together all these updates, and I hope you can
13 appreciate our team's work.

14 So, without further ado, Paul will now present
15 the results.

16 MR. DEEVER: Thank you, Hazel. And good
17 afternoon everyone. My name's Paul Deaver, I'm in the
18 Planning and Modeling Unit, and I'm going to be
19 presenting the preliminary results from our model runs.

20 Before moving on, just a quick note on notation
21 that Hazel had mentioned earlier for some of the charts
22 you will see. The mid case refers to the mid energy
23 demand, mid price. The low case refers to the low energy
24 demand, high price. And, the high case refers to the
25 high energy demand, low price.

1 The next slide, please. So, I want to start out
2 with the mid case for annual California generation, just
3 for the years 2022, '2026, and '2030. The first thing I
4 want you to notice is that natural gas used for electric
5 generation does decrease over the planning horizon.

6 We do see a smaller decrease in 2025, 2026, the
7 years just after Diablo Canyon retires. This creates a
8 small short term need for natural gas just after that
9 nuclear plant retires.

10 We also see a relatively large increase in solar
11 generation over the planning horizon, and a small
12 increase in wind.

13 Hydroelectric and other renewables tend to
14 remain roughly constant over the planning horizon.

15 The other thing to note, we do see a small
16 increase over the years of battery generation. And the
17 numbers presented here are gross generation for
18 batteries. We do not account for charging of the
19 batteries.

20 Next slide, please. So, I also wanted to show
21 monthly generation for California. Both of the charts
22 here are for the mid case. The one on the left is 2022,
23 the one on the right is 2030. I wanted to give you all
24 a sense of the seasonality of what we project for the
25 generation resources.

1 So, in the near term natural gas provides most
2 of California's generation needs in the summer months,
3 July through September generally. And then by the outer
4 years, by 2030 we see that December is the only month
5 that natural gas generates more than solar and wind.
6 And also by 2030, in the spring months solar and wind
7 can generate up to four times as much as natural gas, so
8 there's much more renewable energy in the outer years.

9 The next slide, please. I also wanted to show
10 for the mid case, for California, just the annual
11 generation mix and how that changes over our planning
12 horizon. So, in 2022 the big thing to see here is that
13 natural gas makes up almost a third of the annual
14 resource mix, whereas solar only makes up about a fifth.

15 And over the planning horizon, by 2030, this
16 kind of switches so that gas only makes up about a
17 quarter, whereas solar makes up over a third of the
18 generation mix. And we also see a modest increase in
19 wind generation over the time horizon.

20 The next slide, please. I wanted to show this
21 slide just to give everyone a sense of the size of
22 California's generation resource mix. This is for the
23 mid case for 2022. These patterns do seem consistent
24 over the different cases and over the planning horizon.

25 I've listed out here, for the different regions,

1 Southwest, Northwest, Mountain, Canada, and Baja
2 California North, and what states are in each.

3 So, to notice here, California generally
4 generates about 20 percent less than Arizona, New Mexico
5 and Nevada combined. And it generates about 15 percent
6 more than Alberta and British Columbia.

7 I do want to note that these charts do not
8 include imports. If they did, the bar representing
9 California would be quite a bit higher. So, this is
10 just in-state generation.

11 The next slide, please. So, I wanted to look at
12 natural gas use for electric generation for both
13 California and the rest of the WECC states. So, as I
14 mentioned earlier, the natural gas use for electric
15 generation does decrease over the planning horizon in
16 all three cases.

17 As I mentioned before, the years around and just
18 after when Diablo Canyon retires, in two of the cases we
19 actually see a small uptake in natural gas use, and in
20 the low case it's down a little bit. But then after
21 that, the decrease continues to go down.

22 The other thing to notice on this graph on the
23 left, which is for California, the 2019 IEPR mid case,
24 our preliminary results now do show less natural gas use
25 than in 2019. There's a number of reasons for that.

1 One of the main drivers is the previous California
2 Energy Demand Forecast was higher than what we have now,
3 particularly in the years 2021 to 2024, as we can see.

4 We also assumed, as Hazel mentioned, more
5 generation and more resources from solar and wind. We
6 also added in some generic renewablest.

7 And lastly, we did iterate with the Natural Gas
8 Team to update the natural gas prices, so there's a
9 little bit of a change there.

10 And we expect future iterations with the Gas
11 Team, but we don't expect to see much of an increase or
12 much of a change in natural gas prices for future
13 iterations with them.

14 Now, looking at the chart on the right, this is
15 natural gas use for the rest of the Western States. The
16 first thing we notice here is that the trend is more
17 constant. We don't see quite the decreases we see in
18 California. We also see that compared to the 2019
19 results that our results now show that the rest of the
20 Western States are using more gas than previously.

21 And there's a few drivers for this. One of the
22 first ones is that there are some coal retirements
23 throughout the other Western States. California's using
24 less gas. And related to their coal retirements,
25 there's also the price of natural gas. And in some of

1 these Western States coal and natural gas can be
2 substitutes for each other for electric generation,
3 depending on their relative prices.

4 Oh, and one more thing I forgot to mention, the
5 labels mentioned on here, please forget the 2021 burner
6 tip prices. This is just the low, the high, and the mid
7 price cases as I had described earlier, for both charts
8 that is.

9 The next slide, please. So, I wanted to look at
10 both natural gas and coal use for the whole WECC. So,
11 first on the left we do see a slow decrease in natural
12 gas use. It's not as pronounced as just California,
13 because we are including more Western States. And we do
14 still see the decrease flattened out just a little bit
15 just after Diablo Canyon retires, but then continues on
16 its slow decline.

17 And then looking at the coal use, the chart on
18 the right, I did lump in fuel oil and distillates with
19 coal. Those fuels tended to fit together and we did not
20 have much oil or distillate use, so I thought that those
21 would fit better together.

22 So, looking at these we do see the same sort of
23 decrease in generation from these fuels going forward.
24 However, we do see a little bit of an increase between
25 2027 and 2029. Some of the reasons for this, the coal

1 retirements do not happen evenly every year, nor are
2 they evenly distributed over all the states. And there
3 are a few states that did show some increase in demand
4 that that could be causing this, and those are Arizona,
5 Montana, and New Mexico. In those years, that's
6 primarily where that increased coal generation is coming
7 from.

8 One last thing to note on the coal chart on the
9 right. In the low demand, high price case, both natural
10 gas and coal prices are higher. However, for the coal
11 prices, the difference between the low and the high is
12 much less variable than are the natural gas prices. So,
13 even though we have high coal prices, the natural gas
14 prices are relatively higher. So, even in the high
15 price case we are seeing some fuel substitution there.
16 So, we do see more coal generation, even in the high
17 price case, and that just has to do with fuel
18 substitution between the two fuels, natural gas and
19 coal.

20 The next slide, please. I also wanted to take a
21 look at natural gas and coal use, these are both for the
22 mid case. I wanted to look at this monthly so we can
23 kind of get a seasonal look on what's going on with
24 these two fuels.

25 So, first on the left, even if we look WECC-

1 wide, we see natural gas, its generation does peak, its
2 use for electric generation peaks in the summer months.
3 We kind of expect that. And we do see maybe a smaller
4 peak occurring, you know, in December and January, but
5 not nearly as high as the summer months.

6 We have the same story for coal. Coal is
7 similar to gas in that most of its generation tends to
8 happen in the summer months.

9 The next slide, please. These charts are
10 repeated from previous slides. I did want to get coal
11 on one slide, once again just to reiterate that it does
12 have similar patterns as natural gas when we look WECC-
13 wide. And most of it is used, or the majority of it is
14 used to generate electricity in the summer months.

15 But coal in particular, there are some peaks
16 that we see in the winter months as well, although those
17 are not as large as the summer months. So, I just
18 wanted to point that out that the winter months do still
19 have some coal generation.

20 All right, the next slide, please. So, let's
21 take a look at some of the GHG emissions that we
22 forecast in California. So, for both of these charts,
23 they are going to include in-state generation plus
24 imports.

25 So, we do see a decrease for total generation,

1 on the chart on the left. All three common cases do
2 show a decrease in total generation in millions of
3 metric tons CO2.

4 And once again, the natural gas use, although
5 not quite as pronounced, we do see a slight flattening
6 out of the decrease in the years just after Diablo
7 retires.

8 We also graphed the 2019 mid case IEPR for the
9 GHG reductions. And in general these are higher than
10 the 2019 total GHG. They're higher than what we are
11 seeing in our preliminary results now.

12 And there are a few reasons for that, just
13 looking at California. We do have more solar and wind,
14 along with generating capacity. And there are a few
15 natural gas resource retirements, so we are using a
16 little bit less gas.

17 And also, as I mentioned earlier, the California
18 Demand Forecast was higher than it is now, it was higher
19 in 2019. So, that does account for some of the
20 decreased greenhouse gas emissions, lower California
21 demand.

22 So, now looking at the chart on the right, if we
23 measure GHG intensity as metric tons per megawatt hour.
24 This tells a similar story as the total GHG emissions,
25 we see a decrease over time and that decrease flattens

1 out a bit just after Diablo Canyon goes away.

2 So, a few reasons for this. Over the planning
3 horizon we add more renewables to the system, so we tend
4 to have a cleaner resource mix later in the planning
5 period, with less gas. And we also, as Hazel mentioned,
6 added some battery storage in and that will help reduce
7 emissions.

8 Then, as you look at this chart, the three
9 common cases do tend to converge around 2030. That is
10 because we have the same RPS percentage target. They
11 will be different energy values, but they are the same
12 percentage target, so that's why they seem to roughly
13 converge around 2030.

14 One other thing to notice, the kind of brownish-
15 green line, that is the high demand case, we do see the
16 emission intensity in the outer years kind of dip below
17 the mid case. And that is because, as Hazel mentioned,
18 we did add some generic batteries in for the high case
19 in the outer years, and that helps with the overall
20 portfolio GHG intensity. So, that's why that line dips
21 down a little bit there.

22 All right, the next slide, please. So, on the
23 last slide I showed annual GHG emissions and intensity
24 over the forecast period.

25 So, now I wanted to look at GHG intensities, and

1 these graphs are also in metric tons per hour. So, I
2 wanted to look at these by month and by hour so we get a
3 sense of how GHG intensities decrease by month and over
4 time.

5 So, those tell a similar story as the previous
6 charts. We generally see the GHG intensities decreasing
7 for all months and for all hours. However, we do see
8 the largest decreases in GHG intensity happening more in
9 the middle of the day, as well as generally in the
10 summer and the early fall months. So, that's where it
11 happens the most.

12 And another thing to note, the highest GHG
13 intensity hours, they go from about .26 metric tons per
14 megawatt hour to 0.24 metric tons per megawatt hour.
15 And the time of this shifts a little bit. In 2022,
16 these GHG-intensive hours tend to occur in the early
17 morning in August. And by 2030, they are occurring in
18 the early mornings in December and August, so there's a
19 little bit of a shift there.

20 And one last thing to note about this, that 0.24
21 metric tons per megawatt hour number, that is about half
22 the GHG intensity of a natural gas plant. So, I just
23 wanted to point that out.

24 The next slide, please. Thank you, that
25 concludes our presentation on the input assumptions and

1 preliminary results. We're happy to accept questions
2 and comments from the dais, as well as from the public.

3 COMMISSIONER MCALLISTER: Thank you, Hazel and
4 thank you, Paul. That was fascinating. And I just am
5 really, actually, even though there's red -- you know, a
6 lot of red around the edges here, if you just look at
7 the absolute numbers across the board, you know, if you
8 had said ten years ago we would be down even the worst
9 hours in the .2, you know, kind of kilograms per
10 kilowatt hour kind of realm that I would have been very
11 happy with that. You know, so we've made a lot of
12 progress I guess is the point. Because that's relative
13 to the rest of the country certainly that's a pretty
14 clean system and across the -- you know, in the green
15 only getting greener, that's great, too.

16 So, we still have some more to do to spread
17 across -- spread that green. You know, use a peanut
18 butter knife and spread it across the other hours, but
19 that's good progress.

20 So, anyway, I wanted to pass to the Lead
21 Commissioner here, so Commissioner Gunda I imagine you
22 have some observations.

23 COMMISSIONER GUNDA: Yes, thank you,
24 Commissioner. So, first of all I think I just want to
25 recognize, Hazel, you said, you know, how much work is

1 going behind the scenes. So, just to you and I know
2 there's a lot of team that is engaged on not just this,
3 but the SB 100 analysis, the reliability analysis, so
4 much of the PLEXOS team is -- all the roles that the
5 PLEXOS team is playing in answering a variety of
6 questions for the State of California.

7 So, you know, I'll take you as the point person
8 to convey the thanks to every single person and the
9 incredible work everybody's doing.

10 I just -- you know, there's a lot of questions
11 here but also, you know, in recognition of the time
12 maybe I just want to tee up a couple of comments at a
13 high level, and then maybe we could have follow-up
14 conversations on this. But I think this allows, as a
15 forum, to communicate also with the stakeholders and
16 what we're thinking, and hence the questions or
17 comments. So, just recognize that.

18 So, it would be really helpful to understand,
19 you know, especially on 32, slide number 32, you know,
20 how much of our kind of dependence on imports during --
21 you know, so where are these emissions coming from? Is
22 it emissions coming from imports, in-state generation,
23 and such would be really helpful to understand as we
24 march towards the 2030. And so, it kind of sets some
25 policy guidance on, you know, what is our dependence on

1 imports, what times of the year, and what times of the
2 day would be really helpful for us to think through.

3 So, anything that the team can shed light on
4 would be really helpful in a future conversation or at
5 the end of kind of my couple of questions if you want to
6 tee up the answers.

7 The second high level question is, you know, we
8 have a lot of proceedings going on right now in terms of
9 the IRP. You know, we have the 11,500 megawatts that
10 was recently procured. You know, how are all these
11 things aligning together? Right, I mean like so the
12 generic build that you kind of shared, Hazel, in your
13 kind of comments, is that pretty much aligned with the
14 IRP? You know, how does that differ from SB 100?

15 So, kind of having context on this would really
16 be helpful. Similar to what's happening on the demand
17 side, the uncertainty and how do we think about demand
18 cases versus scenarios. It might be really helpful for
19 us to think about, you know, what are we getting out of
20 demand cases, so applied cases, versus really like, you
21 know, the scenario development of, you know, there's a
22 lot of variables here and how do we think about that
23 would be really helpful. Because that directly gets
24 into the natural gas
25 system.

1 And also, the final question is what level of
2 granularly do we have in terms of where the system
3 impacts are happening? I mean, is that resolution
4 pretty much at a state level? Does it give us a little
5 bit more understanding at like a local level to
6 understand the interaction between gas and the electric
7 system? Which is these are the questions that are kind
8 of going through my mind.

9 And so, before I pass it on I just want to say
10 four years ago if I watched the same presentation, I
11 would not understand the kind of how useful of
12 information that you're providing. I'm just grateful
13 for the team to continually educating me on the
14 importance of this, and I'm recognizing the amount of
15 work the team is doing. So, thank you.

16 And Hazel, if you have high level responses,
17 it's great. If not, we could follow up separately.

18 MS. ARAGON: Sure. So, in response to your
19 comment about how does the resource build align compared
20 to the SB 100, we're also doing a separate reliability
21 model, and the current IEPR scenarios.

22 So, all of these are a little different in, I
23 guess in a certain way, and we do eventually want to I
24 guess merge them together so we have one model that can
25 run like a reliability scenario, the IEPR models, all

1 using the same resource build. So, we would like to
2 eventually get to that point. Right now, these are all
3 separate branches that we work on in PLEXOS.

4 COMMISSIONER GUNDA: Great, thanks Hazel. Paul,
5 I don't know if you have anything that you want to add.
6 If not, I'll pass it back to Commissioner McAllister.

7 MR. DEEVER: We do have granularity down to the
8 plant level, although we don't feel 100 percent super
9 confident about going down to that level. We can do
10 something like groups of power plants to see where
11 emissions are coming from, from that way. So, we can do
12 other aggregations that are more than just the state
13 level, but that does take a little bit of work, and we
14 can definitely look into doing that.

15 COMMISSIONER GUNDA: Great, thank you. And back
16 to you, Commissioner McAllister.

17 COMMISSIONER MCALLISTER: Great. I don't have
18 any specific questions. I think this is great
19 information. And yeah, just appreciate all your
20 diligence. And please do also convey my thanks to the
21 whole team.

22 MS. RAITT: Commissioners, this is Heather. I
23 wonder, we do have a couple of questions. We're a
24 little bit ahead of schedule, I wonder if you want to
25 take them from the Zoom Q&A?

1 COMMISSIONER MCALLISTER: Oh, do you want to do
2 that, Heather, or should -- should we -- let's see. Who
3 would be moderating that? I can do it if --

4 MS. RAITT: Matt. Matt Coldwell.

5 COMMISSIONER MCALLISTER: Oh, Matt. Okay,
6 great. Go ahead, Matt.

7 MR. COLDWELL: Sorry, I had to get my video back
8 on. So, thanks Heather.

9 So, the first question is from John Bradshaw and
10 I think this one's for Paul: On slide 23, Paul, he's
11 asking what does battery generation mean?

12 I think it was a chart that had batteries on the
13 same bar chart with generation resources, so I think
14 he's just looking for some clarification.

15 MR. DEEVER: Yeah, so those numbers represent
16 gross generation. It's not net. It's not going to
17 depend on or include what charged the battery, or where
18 it was discharging, that's just straight gross
19 generation that we're seeing. It's just kind of an
20 overall level of how batteries are acting on the system.

21 MR. COLDWELL: Great. Thanks Paul.

22 And then, the next question is from Luis
23 Martinez: Are there any updates on curtailment
24 estimates as a result of increased renewable
25 penetration?

1 MS. ARAGON: So, this time around we did not run
2 an analysis on curtailment. But it is something that we
3 can do and we can follow up on.

4 MR. COLDWELL: Okay, great, those are the only
5 two that we had in chat. So, take it away, Heather.

6 MS. RAITT: All right.

7 COMMISSIONER MCALLISTER: Great. So, we are ten
8 minutes ahead of schedule, so that's a good thing. I
9 guess we'll just go ahead then, Heather?

10 MS. RAITT: Sounds good. Thank you, Paul.
11 Thank you, Hazel.

12 So, we'll just move on to the presentation on
13 retail electricity assumptions. And so, Lynn Marshall
14 is going to present on that. And she develops the
15 electricity rate forecast for the Energy Commission's
16 Energy Assessments Division. So, go ahead Lynn.

17 MS. MARSHALL: Okay, thank you. And we have
18 slides up. You can go to the second slide, the flow
19 chart.

20 So, I'm discussing those forecasted retail
21 electricity rates and that starts with forecasting
22 revenue requirements. And you can think of those
23 broadly in two categories.

24 First are the costs of power procurement.
25 That's about 50 percent of rates in general. And we're

1 starting with data reported by LSEs on, you know, their
2 contracted resources, and their costs. And this cycle
3 we're getting data not from IOUs and the large public
4 utilities, but also from a number of CCAs. So, we start
5 with that to account for what's already procured. And
6 then, we use information from the Projection and Cost
7 Modeling Team on prices and resource mix to estimate the
8 incremental cost of meeting our demand forecast.

9 So, the other half of revenue requirements,
10 roughly, is transmission, distribution, other general,
11 other types of wires cost. And what's notable about
12 that as you think about we aggregate all these revenue
13 requirements and then to get the rates, you simply
14 divide by our sales forecast or demand forecast.

15 So, this transmission and distribution cost, the
16 majority of them are not sensitive to growth and demand.
17 They're mostly fixed things like maintenance, wildfire
18 management now, customer costs. So, that means that as
19 we're adding building load through fuel switching, or
20 transportation electrification, that load growth
21 actually helps mute the rate impacts from the wires
22 charges that we might otherwise experience.

23 So then, I'm showing here all of the various CEC
24 models that use the rate forecast. These are at our
25 planning areas levels.

1 I also want to highlight one new external use of
2 the rate forecast. During the 2020 IEPR, CPUC Energy
3 Division requested that we provide an IOU bundled rate
4 forecast for use in their affordability OIR. And so, we
5 did that last year and they've requested that we do that
6 again. So, I'll come back and talk a little more about
7 that later because there's some important things on
8 differences between what they're doing and what we're
9 doing.

10 So, next slide. Okay, so going back to the
11 procurement side of things, a major driver of cost is
12 obviously the energy price. Okay, so that we're getting
13 that from the PLEXOS model. But first I wanted to
14 highlight a couple of the key inputs into the production
15 cost model price formation that Hazel mentioned.

16 And this is the natural gas HUB price comparing
17 the 2019 IEPR with the new burner charge cases that
18 Production Cost Modeling Team is now using. And the key
19 takeaway here is, you know, yes the starting point's a
20 lot lower. But the changes that they have made, our DAP
21 team has made is to account for the impact of
22 maintenance of aging natural gas pipelines that's going
23 to get passed through to the transportation rates. So,
24 we do have a higher rate of growth on those, the
25 citygate prices. And this is SoCalGas, but there's a

1 similar effect analyzed at PG&E's citygate, and there
2 will be more information on that on the natural gas IEPR
3 workshop on August 30th.

4 The next slide. Okay, so as Hazel mentioned,
5 another price variable that they update is the GHG
6 allowance price. So, quick recap of how that's
7 structured. We have a reserve price and price floor.
8 We have a soft price cap, and then we have a couple of
9 intermediate price containment points. And if prices
10 hit those tiers, then allowances are reserved, so it's
11 kind of a natural buffer to keep prices from increasing
12 too rapidly.

13 So, this was -- we're actually now in the first
14 year of this regime. The regulations were adopted a
15 couple of years ago. And at that time some of the
16 economists who were actually involved in the Market
17 Advisory Committee did some modeling of the expected
18 price distribution. So, what they found is there's a
19 lot of uncertainty around the price because it's highly
20 sensitive to small changes in demand. The population of
21 covered entities has a very steep supply curve,
22 abatement cost curve, so there's a very high probability
23 of either being at the floor or at, or approaching the
24 upper tier prices. But there's an expected value
25 somewhere in the \$40 to \$60 range.

1 So, why don't you go to the next slide. So, for
2 the last several forecasts we've been using that \$60
3 Tier 1 price as the 2030 price target. And since
4 allowances are tradable over time, you'd expect prices
5 to rise by a non-smooth price path.

6 But meanwhile, we continue to see the clearing
7 prices at the auction stay relatively close to the
8 floor. We had two auctions in 2020 so far, I think the
9 last one was a dollar and change over the floor.

10 And one of the factors driving that is the more
11 we pursue complementary policies, in particular on
12 transportation fuels, that lessens the demand for
13 allowances because those entities are also the -- those
14 are the same entities that are affected by those, you
15 know, transportation demand policies.

16 In particular, the Low Carbon Fuel Standard
17 price is at \$180 or \$190 dollars a ton. They can also
18 get tax credit for the 45Q tax credit for carbon
19 sequestration. So, that really is great for motivating
20 emissions reductions from transportation fuels, but it
21 has the effect of reducing demand for allowance prices,
22 and it leaves the rest of the industrial sector covered
23 by this program facing a very low price. So, that's one
24 of the -- I think one of the contributing factors here.

25 And if nothing changed, we'd probably think we

1 may be staying on a relatively low price path. But
2 things will change. Air Resources Board is planning to
3 take up possible changes to the Cap and Trade Program
4 some time as part of this next Scoping Plan cycle. And
5 can't say what that will look like, there's a variety of
6 changes that they could make. But it seems reasonable
7 to assume that ultimately we'll have changes to the
8 regulatory structure that would drive a higher price.
9 ARB has committed to asking Cap and Trade to do more, so
10 that would imply a higher price.

11 So, for this forecast I've moved the target to
12 2030 reaching a Tier 1 price of \$83 in 2035. Which
13 means in the near term we have lower prices but,
14 ultimately we do get back on that higher price path.

15 So, what I'm showing here is the version that
16 was provided to the Production Cost Modeling Team back
17 in the spring. But meanwhile, I'll continue to monitor
18 developments in the Scoping Plan and incorporate any new
19 insights or analysis that come out of that.

20 Okay, so next slide. So, those inputs go into
21 the production cost model and they provide me with their
22 hourly energy costs. So, I'm showing here their high,
23 mid and low cases. And because of both the lower price
24 inputs and as Hazel and Paul described, with more
25 additions of wind and solar we do have overall lower

1 energy prices.

2 And then comparing those, you can see recent
3 CAISO costs of energy served moving to a lower level,
4 with more renewable resources added to the portfolio.

5 And additional question is do we also need to
6 account for some incremental kind of a green premium to
7 meet RPS goals. And so, I'll assess, I'm going to use
8 the most recent NREL ATB baseline compared to this
9 price, given the renewable additions in the PLEXOS build
10 to assess how much that ought to be, probably declining
11 over time from what I can see.

12 Okay. And so next slide. So, I have one more
13 input on the procurement side and that is how to value
14 the capacity cost needed to meet any incremental
15 capacity additions. So, they're adding kind of generic
16 additions and I use that capacity price to value that
17 cost.

18 So, I'm showing here CPUC recently adopted new
19 avoided cost of generation estimates based on four-hour
20 battery storage. So, that's the rapidly declining curve
21 on the right as the installed cost of batteries decline,
22 and they get additional energy revenues increasing, so
23 that decreases the amount of money needed in the
24 capacity payment.

25 And then on the left side is what people are

1 currently actually paying for resource adequacy
2 capacity, as reported by the PUC. They collect data
3 from LSEs on their actual RA contracts.

4 So, there's a big of a gap there in the interim.
5 So, what I'm proposing to do is start from the most
6 recent RA price benchmark, which is something like \$73,
7 and escalate that to 2025 where it reaches the avoided
8 cost curve, and assume that at that point hopefully we
9 have less tight supply conditions, and we'll return to
10 market fundamentals and go back to that declining cost
11 curve.

12 So, those are all the procurement side
13 assumptions. If people have thoughts for me, I'd just
14 love to hear them.

15 And then, I'll move on to the next slide on the
16 distribution on the procurement cost side.

17 Okay, this work is just starting because we're
18 using a lot of data that was just recently filed and
19 some of it's still coming in, that's information filed
20 by utilities on their projected revenue requirements,
21 and also reviewing rate actions by public utilities.

22 And then, an important resource is the PUC's
23 compilation of pending and approved revenue requirements
24 in their Utility Costs and Rate Tracking Tool. They
25 used this starting last year, and actually earlier this

1 year, to develop some analyses. And that was
2 highlighted in the Affordability Report, a lot of people
3 may have seen. And in that they used -- they started
4 with these pending revenue requirements and then
5 developed their own rate projections to do some
6 scenarios to highlight the potential impacts of the
7 recent rate and possible future rate increases on
8 customer rates and bills. And that effort is really a
9 call to action to highlight the need to find ways to
10 mitigate rate increases.

11 So, in developing those projections, what they
12 did was assume all of the pending applications before
13 the Commission are approved in full, and then they
14 escalated after those first few years using the CEC's
15 bundled rate forecast, so it's a bit of a blend.

16 But that study really has a different purpose.
17 Now, in the CEC forecast what we want to include, say in
18 our mid case, is what is the expected outcome of those
19 proceedings. And we know from historically you're not
20 going to get the full request.

21 And then, yes, the next slide is perfect because
22 this illustrates the difference between those two
23 assumptions. And this table here shows some recent
24 activity for PG&E's general -- general rate case. This
25 specifically is a distribution revenue requirement.

1 So, you can see in last cycle PG&E had a tester,
2 or revenue requirement request increase of 16 percent.
3 The settlement was 10 percent, right. There's a recent
4 proposed decision on SCE's general rate case that
5 reduces the requested amount significantly.

6 And both of these, the big driver of the
7 increase is wildfire mitigation and cost recovery. The
8 reduction in the SCE case, for example, was reducing the
9 amount of miles of covered conductors that would be
10 allowed.

11 So, for the scenarios for this cycle, I'm going
12 to focus on distribution revenue rate scenarios that
13 varied the amount of wildfire mitigation costs that are
14 expended. And that will be presented at our DAWG
15 workshop in September.

16 And so, that is all I have for today, so happy
17 to take your questions.

18 COMMISSIONER MCALLISTER: Well, thank you very
19 much, Lynn. So, could we look at that last table? I
20 guess I was curious about kind of beyond the couple of
21 cases -- beyond the three cases that you sort of had
22 data on in terms of where the Commission came down. But
23 that 45 percent ask in 2023 sort of jumps out and I'm
24 wondering what the deal is with that?

25 MS. MARSHALL: There's a lot. This is really

1 the first -- you know, they've been doing -- they have
2 wildfire mitigation plans, risk analyses, et cetera.

3 COMMISSIONER MCALLISTER: Yeah.

4 MS. MARSHALL: And so what we're really seeing
5 is, okay, we did our wildfire management plan and here
6 are all of the activities we think are appropriate to
7 do.

8 COMMISSIONER MCALLISTER: Is that the
9 undergrounding cost in there?

10 MS. MARSHALL: There's some, but not a lot, but
11 not all of it. And they recently announced, you know,
12 another 10,000 miles. That is not in there. So,
13 there's not an application filed for that. But it
14 really is driven by the wildfire mitigation costs.

15 And one of the things that I've seen happen
16 though with these rate cases, they file the initial one
17 and then they say, oh we have -- based on, say,
18 estimated costs for the current year, and then they say,
19 oh, wait, we have more actual data for this year so they
20 recalculate it. And sometimes the revised requests will
21 come in lower.

22 So, things can change a lot. But yeah, it's
23 wildfire mitigation that's really the big driver here.

24 COMMISSIONER MCALLISTER: Yeah. I guess one,
25 just maybe it's really a qualitative question and I

1 don't think we have numbers on it. But I guess in terms
2 of just all the different elements of rate making, you
3 know, we're talking -- we're developing load management
4 standards, and we're sort of, you know, I think pushing
5 harder on the idea that load flexibility will be an
6 increasing part of the solution, and that a lot of that
7 will be, or should be possibly driven by rates, time
8 differentiated rates.

9 How does that -- how would a sort of, you know,
10 that aspect, you know, of sort of you're talking really
11 more about the phase one of a rate making rate case, you
12 know, how big the pie is.

13 MS. MARSHALL: Right.

14 COMMISSIONER MCALLISTER: How big an impact on
15 what we're doing could sort of an earnest shift towards
16 more, you know, more highly I guess defined time-based
17 pricing be?

18 MS. MARSHALL: Well --

19 COMMISSIONER MCALLISTER: I mean in terms of
20 mitigating some of these rate increases, perhaps.

21 MS. MARSHALL: Oh, in terms of -- well, you can
22 reduce the -- you know, can reduce the additional
23 capacity and that doesn't mean just generation, but
24 distribution. But that's not a big driver of revenue
25 requirement increases. Actually, I think a big issue,

1 though, for promoting the load flexibility in the
2 context of fuel switching is rate design that allocates
3 cost fairly --

4 COMMISSIONER MCALLISTER: Yeah.

5 MS. MARSHALL: -- and not collecting fixed cost
6 as a volumetric rate.

7 COMMISSIONER MCALLISTER: Yeah. Makes sense,
8 okay. I mean I think there's a little feedback loop
9 there that hopefully can be virtuous in terms of optimal
10 -- you know, utilizing our fixed assets optimally so
11 that we can avoid some of these investments going
12 forward, but it's going to take a while I guess to have
13 that play out, right.

14 Let's see, I guess on slide 7, you know, you can
15 back up a couple. I really always enjoy your
16 presentations, Lynn, because, you know, you have such an
17 intuitive feel for all the different elements that come
18 together in this world here. And it's really great to
19 see and kind of fun to listen to that.

20 And I guess on this one I'm wondering, so your
21 proposal seems reasonable, I guess what input have you
22 gotten from -- or, what sort of stakeholder kind of
23 feedback have you gotten on this approach, if any. I
24 guess I'm particularly taking about --

25 MS. MARSHALL: I haven't.

1 COMMISSIONER MCALLISTER: Okay.

2 MS. MARSHALL: I haven't, which is why I put
3 this slide in here.

4 COMMISSIONER MCALLISTER: Okay, great.

5 MS. MARSHALL: Because usually, often I've had a
6 capacity price assumptions and it's been something
7 pretty straight forward. But this was a little bit of a
8 head scratcher, so I did want to put this out there.
9 And we will have a DAWG in September. Because of the
10 delays in receiving data, I'm going to be doing a couple
11 of different runs of the rate forecast. So, we will
12 give parties an opportunity to comment on that.

13 COMMISSIONER MCALLISTER: Okay, that sounds
14 great. And that gap is very notable, obviously.

15 MS. MARSHALL: Yeah.

16 COMMISSIONER MCALLISTER: And I guess, you know,
17 it seems like a little bit crystal bally in terms of
18 what those extrapolated years like and where they
19 intersect, or how they meet up -- and how they meet up.

20 MS. MARSHALL: Yeah. Well, you know, we don't
21 have RA prices for this year or next, but I'm pretty
22 sure that they're not going down.

23 COMMISSIONER MCALLISTER: You think?

24 MS. MARSHALL: I have good anecdotal information
25 on that. So, this was kind of my best estimate of how

1 to merge these two, but I'm certainly open to
2 suggestions from anybody.

3 COMMISSIONER MCALLISTER: Okay, great. Well,
4 great that was terrific. And I don't have any other
5 specific questions.

6 And Commissioner Gunda had to drop and
7 Commissioner Monahan dropped a while back.

8 MS. MARSHALL: Okay.

9 COMMISSIONER MCALLISTER: So, I think that is it
10 for -- yeah, so Commissioner Gunda had to drop and sends
11 his regrets, because I'm sure I would have enjoyed
12 hearing the rest of your presentation.

13 MS. MARSHALL: Okay.

14 COMMISSIONER MCALLISTER: But yeah, great, so
15 good stuff.

16 Do we have any -- it looks like we don't have
17 any Q&A right now?

18 MS. RAITT: Yeah. No, we don't have any Q&A.
19 So, if we're done, thank you, Lynn, and we can move on
20 to public comment if you like, Commissioner.

21 COMMISSIONER MCALLISTER: All right, why don't
22 we do that.

23 MS. RAITT: Thank you, Lynn.

24 MS. MARSHALL: Thank you.

25 MS. RAITT: So, Dorothy, could you moderate the

1 public comment?

2 MS. MURIMI: Thanks.

3 MS. RAITT: Thanks.

4 MS. MURIMI: Thanks Heather and thanks
5 Commissioner McAllister.

6 So, moving on to public comment, a few
7 instructions for everybody. If you are on Zoom, please
8 use the raise hand feature. And if you're on the phone,
9 please dial *9. For all commenters, one person per
10 organization may comment and we'll have one speaker per
11 -- oh, we'll have them speaking for three minutes per
12 speaker. Sorry.

13 So, looking for hands. Again, that's the raise
14 hand feature if you're on Zoom. It looks like a high
15 five, it's at the bottom of your screen. We'll give
16 that one moment.

17 Seeing no commenters, Commissioner McAllister
18 I'll hand the virtual mic back to you.

19 COMMISSIONER MCALLISTER: Okay. Well, thanks
20 very much, Dorothy.

21 Well, let's see, I think we're wrapping up for
22 the day. I want to thank everyone who's still on the
23 call with us and who's been with us most of the day. It
24 looks like there's quite a few folks who stuck it out,
25 so I also thank you for that.

1 We do really look forward to your written
2 comments, due by August 19th, shown here there's the
3 docket number.

4 And I think it's been a really great day in
5 terms of presenting sort of preliminary thinking about
6 the analysis and sort of the planning going forward,
7 some of the inputs and assumptions there evolving in
8 earnest in this particular moment, which is a little bit
9 fraught. You know, we are facing some big challenges
10 for the rest of this summer, next summer, and summers
11 after that. And I think that's driving a lot of good
12 thinking about how to -- you know, what additional
13 information we could be using and how we could be
14 collaborating in more and different ways.

15 And I think we've all heard that staff is headed
16 in a good direction here. And that, you know, on all
17 these different fronts, on the demand assessment itself,
18 and the forecast, and then the various pieces of parts,
19 and on the rates and the rates side, you know, there's
20 just a lot to think about. So, looking forward to
21 keeping tabs on this.

22 I know Commissioner Gunda is leading the charge
23 here with the Assessments Division Team, with Aleecia
24 and all of our presenters today. So, I want to just
25 thank everybody again. And look forward to the

1 iterations and all the results as they start coming in
2 and we have a chance to reflect on those.

3 And with that, I think I will pass it back to
4 Heather to fill this out.

5 MS. RAITT: I think you've covered.

6 COMMISSIONER MCALLISTER: Okay. Well, great.

7 MS. RAITT: Yeah, thank you for your leadership,
8 Commissioner.

9 COMMISSIONER MCALLISTER: Oh, you bet. You bet.
10 That's what leading the IEPR is all about. And I
11 actually love it because I get to dip into all the
12 different themes along the way and it helps guide the
13 overall kind of conversation, you know, integrating all
14 the different areas. We have a number of --
15 everything's increasingly interrelated, right. So, our
16 various themes this year, reliability, the forecast
17 itself which we've heard about today, and building
18 decarbonization, and the gas system, all four of those
19 key topics are increasingly interrelated. So, it's an
20 interesting time to be focusing on these issues together
21 in the IEPR.

22 So, let's see, I think that will do us. Again,
23 really appreciate everybody being with us. And let's
24 see, do you need to say anything about upcoming
25 workshops or anything like along those lines, Heather?

1 MS. RAITT: Well, we do have upcoming workshops
2 on August 24th and 26th. And so, you can be looking for
3 information about those.

4 COMMISSIONER MCALLISTER: Okay, great. Okay.
5 All right, well thanks a lot everyone.

6 MS. RAITT: Thank you.

7 COMMISSIONER MCALLISTER: We are adjourned for
8 the day. Take
9 care.

10 (Thereupon, the Workshop was adjourned at
11 4:07 p.m.)

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of October, 2021.



MARTHA L. NELSON,


CERT**367

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of October, 2021.



Barbara Little
Certified Transcriber
AAERT No. CET**D-520