

DOCKETED

Docket Number:	21-IEPR-06
Project Title:	Building Decarbonization and Energy Efficiency
TN #:	240048
Document Title:	Transcript -080321 Session 2 IEPR Commissioner Workshop on Accelerate Industrial Decarbonization - Industrial Outlook
Description:	Transcript -080321 Session 2 IEPR Commissioner Workshop on Accelerate Industrial Decarbonization - Industrial Outlook
Filer:	Raquel Kravitz
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	10/12/2021 11:03:21 AM
Docketed Date:	10/12/2021

APPEARANCES

Workshop Leadership:

J. Andrew McAllister, CEC Commissioner
Patricia Monahan, CEC Commissioner

CEC Staff:

Heather Raitt, Program Manager of the Integrated Energy
Policy Report, Meeting Moderator
Dorothy Murimi, Public Advisor's Office

Panel 1:

David Stout, CEC, Industrial, Agricultural, and Water
Unit,
Moderator
Jeff Malin, Applied Medical
Scott Starr, California Steel Industries
Steve Coppinger, CalPortland
Jennifer Haley, Kern Oil
Brian Seitz, Frito Lay North America

Panel 2:

Kelly Kissock, Ph.D., University of California, Davis,
Moderator
Lance Hastings, California Manufacturers & Technology
Association
Nora Sheriff, California Large Energy Consumers
Association
Wayne Nastri, South Coast Air Quality Management District
Catherine Reheis-Boyd, Western States Petroleum
Association

Public Comment:

Hugo Mejia, SoCalGas

California Reporting, LLC

(510) 313-0610

I N D E X

3

Introduction:	page	4
Workshop Leadership Opening Remarks:	page	5
Panel 1: What are the Industries Currently Doing and Planning to do to Decarbonize:	page	7
Panel 2: What Policies or Programs are Needed to Help Industries Accelerate Decarbonization:	page	54
Public Comments:	page	105
Adjournment:	page	111

P R O C E E D I N G S

1 August 3, 2021 2:01 o'clock p.m.

2 MS. RAITT: Good afternoon, everybody. Welcome
3 to today's 2021 IEPR Commissioner Workshop, Industrial
4 Outlook. I'm Heather Raitt, the Program Manager for the
5 Integrated Energy Policy Report, or the IEPR.

6 This workshop is being held remotely, consistent
7 with Executive Order N-08-21, to continue to help
8 California respond to, recover from, and mitigate the
9 impacts of the Covid-19 Pandemic. The public can
10 participate in the workshop consistent with the direction
11 in the executive order.

12 This is the afternoon and final session of this
13 workshop. To follow along with today's discussions, the
14 workshop schedule, and presentations are available on the
15 Energy Commission's website. All IEPR workshops are
16 recorded and the recording will be linked to the CEC's
17 website shortly following the workshop and a written
18 transcript will be available in about a month.

19 Attendees have the opportunity to participate
20 today by asking questions or uploading questions submitted
21 through the Zoom Q&A feature, or you may make comments
22 during the public comment period at the end of the
23 afternoon, or you may submit written comments and
24 instructions for doing so are on the meeting notice.

California Reporting, LLC

(510) 313-0610

1 Written comments are due August 17th.

2 And, with that, I will turn it over to
3 Commissioner Andrew McAllister.

4 Thank you.

5 COMMISSIONER MCALLISTER: Thank you, Heather.

6 A pleasure to be with all of you again this
7 afternoon. Thanks again for putting together a great day.
8 Really -- a very exceptional morning, a couple of great
9 panels setting the stage for what we're going to talk
10 about this afternoon.

11 I won't repeat most of what I said this morning,
12 but just want to express a really keen sense of optimism
13 here about being able to do something important in the
14 industrial sector. And we have to because we have some
15 very urgent, increasingly urgent clean energy transition
16 goals, and certainly we're all living through the drought
17 and climate change on the front lines here in California.
18 And we really have a lot of work to do.

19 And the industrial sector is one area where I
20 think we have -- there is more headroom because I think we
21 haven't quite gotten an organized direction in the state
22 to address decarbonization in that sector and there's a
23 ton of opportunity. So we have a lot of leaders in the
24 room this afternoon, a couple of panels, the first one
25 moderated by David Stout, from the Energy Commission, and

California Reporting, LLC

(510) 313-0610

1 then the second one by Dr. Kelly Kissock, who is a
2 relatively recent arrival to California and has deep
3 unique experience in industrial optimization and is at
4 U.C. Davis now. So we're lucky to have him in the state.

5 With that, I think there are number of themes I
6 think that will carry over from this morning. Certainly
7 the thermal piece of the puzzle and how to transition that
8 away from fossil gas in terms of and/or trying
9 sequestration options for that remainder. And I think we
10 have historically thought about that piece of it as some
11 years out, but increasingly I think we have urgency to
12 really get ahead of that, and the hydrogen and the CCUS
13 discussions are moving forward, beginning to move forward,
14 which is really good. So hopefully we can dig into that
15 this afternoon as well.

16 With that, I think I will invite my colleague
17 Commissioner Patty Monahan to make any comments for the
18 afternoon.

19 Thanks for being here again.

20 COMMISSIONER MONAHAN: Thanks, Commissioner
21 McAllister.

22 I too am looking forward to the afternoon. As
23 anybody was there in the morning, you heard me ask, well,
24 what do we do about oil and gas, and what do we about
25 refining emissions, which are almost half of all the GHG

California Reporting, LLC

(510) 313-0610

1 emissions from the industrial sector, and now we have
2 Cathy Reheis-Boyd and others to help us answer that
3 question. So just really curious to hear how -- the
4 advice that our panelists give us and looking forward to
5 the discussion.

6 COMMISSIONER MCALLISTER: Great, Heather. Back
7 to you and to David for the first panel.

8 MS. RAITT: Super. Yes.

9 So thank you for our first panel on what are
10 industries currently doing and planning to do to
11 decarbonize. And, as we mentioned, David Stout is the
12 moderator, and he supervises the Industrial, Agricultural,
13 and Water Unit in the Research and Development Division.

14 And thank you, David, for your leadership in
15 helping put this workshop together. Go ahead.

16 MR. STOUT: Thank you, Heather. My pleasure.

17 So, as Heather said, I supervise the Industrial,
18 Ag, and Water Unit at the CEC. My team funds and manages
19 research to increase energy efficiency and decarbonize
20 those three sectors, including advanced research and
21 development projects and larger technology demonstration
22 deployment projects.

23 The focus of this afternoon's first panel is to
24 discuss what the industrial sector is doing and planning
25 to do to decarbonize. I'm joined by five panelists that

1 represent a range of industrial subsectors. As we talk
2 about the technologies today, I would also like the
3 panelists to touch upon policies that have enabled
4 decarbonization so far and what is needed to further
5 enable decarbonization.

6 I will introduce each panelists in turn and
7 invite them to take their -- to turn on their camera and
8 introduce who they are and share what their organization's
9 doing.

10 Reminder to the audience: Plus put questions in
11 the Q&A box. If there are questions directed towards a
12 specific panelists, please include their name.

13 I'd like to now invite Jeff Malin, Manager of
14 Government Affairs at Applied Medical, to turn on his
15 camera, give his intro and give his presentation.

16 MR. MALIN: Thank you, David.

17 Hopefully you guys can hear me okay. My name is
18 Jeff Malin. I'm in the Department of Government Affairs
19 side of the business at Applied Medical. And before we
20 get started, I want to do a couple of acknowledgements and
21 thank the Energy Commission staff, Jennifer and Ms. Jones,
22 for inviting us to participate in the meetings and also
23 suggesting that we come and speak to the workshop. And to
24 the Commissioners this morning, I was part of the first --
25 part of the workshop and, you know, the commissioners

1 asked a lot of great questions and I think really kind of
2 help lead in some of the discussions we're going to get
3 into this afternoon, so I'm very thankful about for that.

4 A little bit of background. And so I work at
5 Applied Medical. I served for six years within the
6 Governor's Office of Economic Development in the State of
7 California, so I've had my fair share of a lot of the
8 issues that we're going to get to.

9 And one of the interesting things about the
10 company I work for now is just our business, our core
11 values, and our principles. The next slide, please.

12 So the company I work with now is called Applied
13 Medical. We're a new generation medical device company.
14 And we are a little bit different. We're privately owned.
15 We can sort of do what we want. And so we have elected to
16 have a really high level of core values and standards as a
17 company, with respect to economic accountability,
18 involvement, sustainability, and social responsibility.

19 Our company has been around for about 34 yes.
20 And what makes us unique is that we're vertically
21 integrated. We compete with the largest medical device
22 manufacturers in the world and we are the global leader in
23 one of our products, the Voyant cart specifically. And
24 the way we were able to achieve that is through this
25 vertical integration. We literally keep everything close

California Reporting, LLC

(510) 313-0610

1 to the chest. We don't have a lot of long supply lines.
2 And, as a result of, we're able to control a lot of things
3 ourselves and so because of that we rely heavily on
4 achieving efficiencies in order to compete in the global
5 marketplace. Next slide, please.

6 So what you see on screen in the next slide is
7 some of our products. I just want you to kind of get a
8 flavor for who we are and what we do. You know, as a
9 vertically-integrated company we spend a ton of money on
10 research and development, and we make everything right
11 here in California. And we ship all these products out
12 globally throughout the 75 countries around the world.

13 And so our need to have the ability to achieve
14 and access clean, efficient, flexible, and resilient power
15 is paramount. And in the next slide, I will show you what
16 I mean by that. Next slide, please.

17 So on this slide you will see kind of why that's
18 the case for us. We have basically three large clusters
19 of industrial space throughout Orange County. One of
20 those clusters is in Irvine where we have about 300,000
21 square feet; another 300,000 square feet or so are in Lake
22 Forest, where we're building our first microgrid; and then
23 in Rancho Santa Margarita is where we have got the balance
24 where we're building a couple other microgrids.

25 And our microgrids are connecting smart battery

1 energy storage systems. You know, I'm using ARPA-E-funded
2 iron-flow redux batteries that are the best in class.
3 We're connecting photovoltaics, we're connecting micro
4 turbines, you know, for natural gas consumption. And
5 central to all that is, and one of the previous
6 presenters, was to optimize energy management. So we are
7 buying the best in class microgrid controllers which are
8 connected to AI, which are connected to, you know, data in
9 the cloud to help predict and help us program our power
10 consumption needs over time, especially when you factor in
11 things like the weather and what not. Next slide, please.

12 Here is where I want to show you where we have
13 got some of our challenges. So this is a blow-up of a lot
14 of our properties there in Rancho Santa Margarita. And
15 our first policy issue is the process of interconnection.
16 So you will notice that there is a large building on the
17 left side of the screen called R100. When we purchased
18 that property, it had fuel cell generators on it that had
19 -- and photovoltaics, which had way more power being
20 produced than we actually needed.

21 Then across the street we've got a lot of other
22 buildings that could use that power. Now one of our
23 issues is that because the interconnection process is not
24 really clear, and I'm sparing a lot of technical details -
25 -

1 MR. STOUT: Jeff, you muted yourself.

2 MR. MALIN: Oh, sorry. Sorry. So thank you for
3 catching this.

4 At the end of the day we had a hard time
5 interconnecting. And still to this day we aren't able to
6 send power across the street. This is something that, you
7 know, schools can do, hospitals can do, a lot of other
8 operations out in the world can do, and we've had a
9 problem with that because, in our view, the
10 interconnection process is just simply not clear. And
11 that's one of the things we'd love the Commissioners to
12 take a look at and moving forward is: How can I make it
13 clearer so that I can have an A to Z guide that says if
14 you follow all the steps, the utility can't come in and
15 just discretionarily say, 'I think it's unsafe. If you
16 were to send in a design like that, we're just not going
17 to approve it,' which is actually what happened to us.
18 Next slide, please.

19 The next slide is I borrowed this straight off
20 of EPA, and I wanted to credit the presenters that spoke
21 this morning from EPA, specifically Elizabeth Dutrow and
22 Virginia Lew and Bob Gemmer. You know one of the
23 interesting things when you look at CHP, and this comes
24 straight off of the EPA's website, and this is again their
25 illustration, their bullet points, is if you notice at the

1 center of this illustration there is an electrical boiler
2 there at an efficiency of 80 percent. And so they get to
3 this overall efficiency in the seventies, but there is, at
4 the end of the last bullet, this note about the ability to
5 achieve a higher efficiency.

6 And so it was great to hear that energy
7 efficiency is at the top of the mind for everyone, but
8 what was left out of it, which was really interesting to
9 me, is what we are doing. So, you know, we're using
10 absorption chillers, using lithium bromide absorbent
11 chillers to increase the efficiency up to the 90 percent.
12 And that is the waste heat recapture. I think that's
13 missing from a lot of the CHP designs that are out there.

14 And that leads us to our second public policy
15 issue which we wanted to bring to the Commissioners'
16 attention. We are currently engaged in the CPUC's
17 microgrid tariff rulemaking proceeding. And our read is
18 that the CPUC missed an opportunity in their tract to
19 decision by excluding natural gas from being eligible as
20 one of the sources in the tariff in their tract to
21 decision. Now they are going to take up the
22 interconnection process in their next RMWG workshop, and
23 we'll see how that plays out. But natural gas is
24 something that our microgrids just can -- we want to be
25 able -- our microgrids aren't feasible without natural

1 gas. Natural gas, as I mentioned as something earlier in
2 this presentation, is something that's clean. You know,
3 they're on their way to getting to carbon neutral within -
4 - by 2035. It's efficient, it's flexible, it's
5 affordable, and, more importantly, it's resilient. And
6 it's available to us at 24/7. So power shutoff events,
7 we're fine, we're good to go.

8 And if I could get a few more seconds in, one of
9 our last issues is storage. Melissa mentioned earlier in
10 the beginning of our workshop that is Southern California
11 is restricted. So at the end of the day, we become kind
12 of a quasi balancing agent for the system because we've
13 got a lot of alerts saying, hey, you can use more gas, use
14 less gas, and that's really frustrating to our operational
15 folks who are obviously just trying to stay within a
16 certain lane for as much as natural gas that we do
17 consume. So storage is another issue that we're hopeful
18 to get the Commissioners' views on.

19 And, look, seven minutes is not a lot of time to
20 get all of our points out. I'd like to invite
21 Commissioner McAllister and Commissioner Monahan to our
22 facilities, come take a look. We're not that far away
23 from California Steel either. You can may be visit them
24 both. But come take a look at what we've got and maybe
25 from there you could even dive into some of the more

California Reporting, LLC

(510) 313-0610

1 technical details. Thanks for taking the time to speak
2 with you this afternoon. I'm looking forward to the Q&A.

3 MR. STOUT: Thank you, Jeff, for sharing some of
4 the efficiency efforts you're pursuing and some of the
5 challenges that you face.

6 I will now turn it over to Scott Starr, who is
7 the Executive Vice President of Operations at California
8 Steel Industries.

9 Go ahead, Scott, if you will turn on your camera
10 and introduce yourself and share your presentation.

11 MR. STARR: Yeah. Thank you, David. I
12 appreciate the opportunity and invite to speak to the
13 group today.

14 As David said, my name is Scott Starr. I'm the
15 Executive Vice President of Operations for California
16 Steel. Next slide, please.

17 Just a background on us. We're a steel rolling
18 facility here in Fontana, California. We're on the former
19 site of the Kaiser Steel, which started here in the
20 forties. Our owners took over the company in the
21 eighties. We have more than two million tons of rolling
22 capacity for the western U.S. And we make flat-rolled
23 steels and electric resistance welded pipe for oil and gas
24 transmission.

25 We sit on 430 acres in Fontana. We spent over a

California Reporting, LLC

(510) 313-0610

1 billion dollars in capital investments and we're a good
2 employer. And you can see from our stats we're very proud
3 that we've never had a layoff in our history. Next slide,
4 please.

5 Just to give you a background of the money we
6 have put into the facility over the years, these are some
7 of the more major investments, but we have spent over a
8 billion dollars since 1992. And really specific to this
9 group here, you see the investments for number 4 and
10 number 5, hot strip metal reheat furnaces. These are our
11 large reheat furnaces for reheating slabs and a major
12 source of our greenhouse gas emissions here at CSI. Next
13 slide, please.

14 Just to give you a little background on our
15 business model, we import slabs, so our raw product is
16 slabs. We buy most from international sources, some
17 domestic, although the domestic sources are not readily
18 available. We take those slabs and we convert them into
19 hot rolled, pickled and oiled, galvanized coil, cold
20 coils. And you can see we take those slabs, reheat them
21 in one of our two furnaces, and do subsequent rolling
22 processes. Some of that hot roll is formed into a
23 resistance welded pipe. Like I said, it's for oil and gas
24 transmission. Next slide, please.

25 This is our internal processed here. And you

1 can see our starting product, the slabs, just a general
2 description of them. But the boxes in green are really
3 our source of emissions. We have two reheat furnaces that
4 take those slabs and reheat them so that we can roll them
5 into thinner gage strip. From there, it's either sold as-
6 is or we can process it via our continuous pickling line,
7 which is an acid solution to clean up the surface. We
8 take it from there and then cold reduce it farther.

9 Most of our product goes into construction end
10 uses, like decking, studs, joists, or service centers that
11 take it and sell to OEMs for further fabrication. And
12 then our other two processes, the galvanizing lines where
13 we take that strip and put a zinc coating on it for
14 corrosion protection or anneal it for ductility and better
15 formability.

16 Like I said, the items in green are our sources
17 of greenhouse gas emissions here at CSI. These are
18 benchmark, under the greenhouse -- the Cap and Trade
19 legislation. And important to point, the reheat furnace,
20 we're the only one in California that does this. So when
21 we talk about steel, obviously it's a commodity. Other
22 people throughout the country and the world do it, but
23 we're the only ones in California that have this business
24 to do this at this time. And our process results in about
25 ten percent of the overall greenhouse gas emissions for

California Reporting, LLC

(510) 313-0610

1 the final product. Next slide, please.

2 Just to give you a perspective, and as the
3 previous gentleman said, we'd love to have you come and
4 take a look at our facility because we think it's
5 something to see and impress in person. But we take those
6 slabs and we put them in one or two of our furnaces.
7 Those slabs are on average 25 tons of steel, nine inches
8 thick, 74 inches wide, 432 inches long. We process
9 between 240 and 400 a day, up to 2300 degrees Fahrenheit,
10 so it takes a lot of energy. And natural gas is the
11 accepted way for one doing that. We have no evidence or
12 no understanding that anybody else does the
13 electrification for reheating slabs like this. And in
14 fact we have done a third-party study that I will talk
15 about later, but it's a high intensity heating process
16 that takes a lot of energy to do. Next slide, please.

17 This is just our performance over time and this
18 is largely efficiency gains mostly by those two -- those
19 two reheat furnaces. They are environmentally sound, the
20 best in class at the time of installation. You will see
21 over the years, we have reduced our CO2 per ton by about
22 38 percent. Next slide.

23 The concerns for us, of course, as we go into
24 electricity, we are also a major electrical user. So when
25 it comes to electricity, the high rates in California

1 that, you know, we're subject to, it does play a part and
2 it does affect our bottom line. And the ones -- the items
3 in yellow are the other western states where, you know, as
4 evidenced by a recent move, some steel producers have
5 moved to other states in pursuit of those lower costs.
6 Next slide, please.

7 Just as a representation, if we did our process
8 as-is anywhere else, we would save at least \$15 million,
9 just on the electricity cost alone. Next slide, please.

10 So getting to what we want to do to reduce the
11 greenhouse gas emissions, we had the EPA study that was
12 released in 2012, made 11 recommendations. We have
13 employed nine of those already, through temperature and
14 process control. We have recuperative burners, we have
15 regenerator burners, and waste heat recovery. The two
16 that we have not implemented yet: Hot charging of slabs.
17 We don't make the steel there, so that alleviates that.
18 And we continue to look at oxy fuel and hydrogen as a
19 substitute for natural gas. Next slide, please.

20 Just as I mentioned, we did a third-party study
21 to look at electrification of our reheat furnaces as part
22 of work conducted with CARB. Basically what we found is
23 other than -- that it doesn't exist and is not necessarily
24 technologically feasible at this time. The full cost
25 would increase our production costs by 600 percent and the

1 full electrification with current generation would
2 actually increase the greenhouse gas emissions as a result
3 of that process. So we have looked at how we can do that
4 and it is not possible at this time. Next slide, please.

5 So what we continue to look at, we can, like I
6 said, continue to look at the burner technology that
7 exists. We are making improvements and we will continue
8 to make improvements by adding SCRs and more efficient
9 burners to all of our sources. And we continue to do
10 studies with industrial gas suppliers and others and
11 SoCalGas looking at how we can get more natural gas from
12 renewable sources, hydrogen and oxy fuels, to fulfill our
13 process. And the other we're looking at, we move a lot of
14 steel around here with locomotives and other major
15 equipment, that we are currently looking at how we can
16 make that electrified.

17 So for us natural gas is very important. It's
18 our only way of completing our process and it's the only
19 one in California. We're certainly subject to a little
20 bit different rules as opposed to other people in the
21 country and the world when it comes to how we manufacture
22 steel.

23 Once again, I thank you for the time to go over
24 all this with you. And we certainly -- any time you want
25 to come down and take a look at our facilities, we're

California Reporting, LLC

(510) 313-0610

1 happy to show them off. Thanks very much for your time.

2 MR. STOUT: Thank you, Scott, for that quick,
3 whirlwind overview. For those that can't visit CSI's
4 facility, which I imagine will be a lot of the attendees,
5 they do have a great video on their website, so I have to
6 plug that video.

7 I will now turn it over to Steve Coppinger, Vice
8 President of Corporate Services at CalPortland.

9 Go ahead and turn on your video, Steve, and
10 introduce yourself and give your presentation. Thank you.

11 MR. COPPINGER: Great. Thank you, David, and
12 Commissioners, staff. Thank you for the opportunity to
13 speak to you today.

14 As Commissioner McAllister said, I'm excited as
15 well that you're including some of the industrial
16 companies into the program this week and going forward.
17 Next slide, please.

18 A little bit of background about CalPortland.
19 We were founded in 1891, so we've been in business quite a
20 long time, and we were founded in California. And we're a
21 large manufacturer of construction materials that are used
22 in bridges, roads, buildings. Those products include
23 cement, concrete, aggregates, asphalts. And most of our
24 facilities are in the western U.S. and Canada. We do have
25 three cement plants, and I will touch on those a little

1 bit today as they are probably the most energy-intensive
2 units that we operate within the company.

3 We've also been honored to receive EPA's ENERGY
4 STAR Program of the Year Award for the past 17 straight
5 years for energy management. So we take sustainability
6 and energy management very seriously. Next slide, please.

7 So concrete is very ubiquitous. It is used --
8 it's the most widely used material in the world, next to
9 water. And if you look around at construction projects,
10 you will notice that almost every project has some form of
11 concrete being used in the project, so it's an important
12 part of our infrastructure and our daily lives.

13 And within the concrete products, cement is one
14 of the materials that's a key component that gives
15 concrete its strength and hardness. And the process
16 that's required to make cement is pretty energy intensive.
17 We use quite a bit of fuel and heating materials to 2700
18 degrees Fahrenheit in a rotary kiln. A lot of electricity
19 is used in the grinding and crushing and conveying part of
20 the process.

21 But something that's unique to our process,
22 cement process is that 60 percent of the CO2 emissions are
23 a result of the chemical reaction that occurs between
24 limestone and heat that does drive off CO2 emissions. So
25 60 percent of our CO2 emissions are chemically based as

1 opposed to being induced by fuel or electricity.

2 But another unique feature about the concrete
3 product is that during its lifecycle it does absorb CO2.
4 So after concrete is installed and it's in your sidewalk
5 or the freeways, it is absorbing CO2 out of the atmosphere
6 in a process called carbonization. Next slide, please.

7 I wanted to give you a little background about
8 what CalPortland has done with decarbonization. We have
9 taken a holistic view of decarbonizing and reducing our
10 emissions. First and foremost, we have been very actively
11 involved with ENERGY STAR and energy management, looking
12 at ways to improve our process to reduce our fuel
13 intensity. But we've also spent a lot of time looking at
14 mobile fleet emissions and reducing those emissions
15 through converting some of our diesel truck fleets into
16 CNG and ultimately using RNG, renewable natural gas, which
17 has a very low carbon intensity, in some cases even a
18 negative carbon intensity. And we have looked at other
19 technologies, like hybrid trucks. And so we're continuing
20 to explore new avenues to improve our efficiency.

21 We also have one of our cement plants in
22 Southern California that has 24 megawatts behind-the-meter
23 wind turbines. So when the wind is blowing, we're making
24 our cement products with the wind, with zero emission
25 electricity. We're working right now with the utilities

California Reporting, LLC

(510) 313-0610

1 to try to get that wind to be available in case our plant
2 is down or reduced in load to get that out on the grid.

3 We also have sustainable products that we have
4 come out with. One of the lines is Advancement which is
5 where we use partly limestone cements which are cements
6 that reduce the amount of material in our products that
7 require the pyroprocess in fueling, so we blend a little
8 bit of limestone with our cement products to reduce
9 greenhouse gases by 10 percent. Likewise, we also use
10 other alternative materials like Pozzolan both in cement
11 and concrete to, again, reduce greenhouse gas emissions.

12 We are currently running a feasibility study
13 with an engineering company to identify technologies that
14 would be the most appropriate to use in our cement process
15 for carbon capture and utilization. And I think everybody
16 knows one of the big challenges is if you're able to
17 separate the carbon, which is a challenge, -- or the CO₂,
18 I should say, figuring out what you're going to do with
19 the CO₂ is the next big hurdle for us.

20 We also investigate other technologies in
21 looking at our emissions and scrubbing the emissions to
22 reduce CO₂ and other emissions, and combine heat and
23 power. We have investigated things as diverse as solar
24 concentration, that we have looked into that a little bit
25 to see if that would help us with doing some heating of

1 our process gases.

2 And we're very interested, we have used a lot of
3 alternative fuels and other raw materials to, again,
4 reduce the amount of the CO2 footprint in our process.
5 Unfortunately, we currently only get credit for the
6 biogenetic fuel portion. A lot of the world does get full
7 credit for using alternative fuels, and that's something
8 that maybe could help us with advancing the usage of more
9 of these fuels.

10 We also are very aggressive in our recycling.
11 For example, concrete, when concrete comes back from a job
12 that's not been used or the customer sends it back because
13 they have enough already, we do repurpose and recycle that
14 concrete material to a reclaimer, where we can reutilize
15 the materials again and separate them and reutilize them.
16 Next slide, please.

17 So, more broadly, I wanted to mention what
18 cement industry is doing. In the United States, right now
19 there is the development of the Roadmap to Net Zero by
20 2050 that's being initiated by the Portland Cement
21 Association and its members. This is something that will
22 be announced this fall, so they are going to be very
23 active in not only -- have not only created a roadmap but
24 they're going to look at ways that we're going to get
25 there as soon as we can.

California Reporting, LLC

(510) 313-0610

1 And within the California cement industry, they
2 have also developed and accepted a carbon neutrality plan
3 for 2035 that's sponsored through the California Nevada
4 Cement Association. And I will talk a little bit about
5 what that means for California cement plants.

6 And the industry as a whole has been very active
7 in the ENERGY STAR Program. You heard me mention that
8 before. But as far as energy management and energy
9 efficiency, this is a great program, to allow a lot of the
10 large energy consumers in the country get together and
11 share best practices. But we also participate in the
12 benchmarking they provide where plants can be certified as
13 high performers in energy efficiency.

14 And the industry has also taken advantage of
15 some of the Department of Energy grants for carbon capture
16 and energy efficiency. Several pilot projects are
17 underway right now to look at ways to capture carbon and
18 utilize it.

19 And, again, as we have done, the industry as a
20 whole has worked with alternative fuels and raw materials
21 to reduce CO2. And, again, Portland limestone cements are
22 a part of -- a part of our whole product mix.

23 You can see from the graph on the right-hand
24 side, this is an older graph but it does show a
25 significant shift over the years in improving energy

1 efficiency in the industry. Next slide, please.

2 So I mentioned in California there is a program
3 now, the Carbon Neutrality Plan that's been accepted by
4 the cement companies in the state. They have identified
5 seven levers of trying to meet those goals. And I'm not
6 going to go into all of these, but if you look at the
7 right-hand column, some of those challenges and some of
8 the challenges can be identified in key barriers that will
9 -- that we need to work together as the State moves on its
10 own carbon reduction plans. And that's why I'm, again,
11 really excited to be a part of this panel here today.

12 One of the things I mentioned for Portland
13 limestone cement, which this is something that we can --
14 as soon as CalTrans accepts the performance of these types
15 of cements, you're going to have a higher amount of
16 limestone and less of the materials that generate CO2.
17 And immediately we would have a 10-percent savings on
18 greenhouse gas emissions. And we're hoping that CalTrans
19 accepts -- accepts this some time in October of this year.
20 We're looking forward to that.

21 But that's all I have for now. And I, again,
22 appreciate the opportunity to talk to you today.

23 MR. STOUT: Thank you, Steve. Really appreciate
24 you not just sharing not just what CalPortland is doing
25 but sharing what the cement industry as a whole is doing

1 more broadly.

2 I will now turn it over to Jennifer Haley,
3 President and CEO at Kern Oil.

4 So go ahead and introduce yourself and give your
5 presentation, Jennifer. Thank you.

6 MS. HALEY: Thanks. So Peter Drucker once said
7 the only thing we know about the future is that it will be
8 different. And for us at Kern Oil, as a small refinery
9 and a renewable fuel producer, we often semi seriously
10 joke that the only thing constant in our industry is
11 change. And so our business in California looked very
12 different 85 years ago, when we first opened our doors.
13 And We are extremely proud of how we have evolved as a
14 company and how we're continuing today to embrace the
15 opportunities inherent in the transition to clean energy,
16 you know, and frankly to do our part.

17 We are very unique. Despite our small size we
18 are actually the only refinery producing gasoline and
19 diesel between the major complexes in the Bay and L.A.
20 And so we're a critical supplier for the San Joaquin
21 Valley and for the heavy diesel demand from agriculture in
22 the valley and also transportation demand from the I-5
23 corridor. Okay, next slide, please.

24 California was actually -- California. Kern,
25 who is in California, was actually the second refinery in

California Reporting, LLC

(510) 313-0610

1 the country to get a renewable diesel fuel registration
2 from the EPA back in 2009 for coprocessing biomass, a
3 tallow, or animal fat, through one of our hydro treaters.
4 And so the carbon intensity of that renewable diesel that
5 we produce is around 30, as compared to traditional
6 diesel, which is over a hundred grams per megajoule. And
7 so today our diesel that goes out the gates contains up to
8 five percent of both our renewable diesel, which we
9 produce on site, and biodiesel that we bring in to blend.

10 And so Melinda Palmer, on our team, analogizes
11 it to hiding vegetables in your children's food. And most
12 customers don't actually read the fine print at the pump,
13 and so they might not be aware that there is renewable
14 material in the diesel that they're purchasing. And so we
15 have talked about how the five-percent labeling limit is
16 really an opportunity, particularly on the renewable
17 diesel side. So that is a fuel that is chemically
18 indistinguishable from petroleum diesel, but much cleaner,
19 and so there is real potential for a drop-in replacement
20 fuel, which would be able to utilize existing vehicles and
21 infrastructure. And so in the immediate, one of the
22 thoughts that we had is some coordination between the
23 federal and the state level on how we bump up that limit,
24 you know, even going from five to ten percent can make an
25 incredible difference. Next slide.

California Reporting, LLC

(510) 313-0610

1 So Kern's size can be both a challenge and also
2 an advantage. And I'd like to think that we have actually
3 used our size to our advantage. We can be incredibly
4 nimble. We've got a flat management structure and the
5 ability to prove out new technology and new renewable
6 fuels in a commercial environment but on a much smaller,
7 more feasible scale. And for comparison purposes, most of
8 the other refineries in the state are ten times our size.
9 And I could do an entire presentation on this, I would
10 love to give examples, but please connect with me offline
11 in the interests of time.

12 I think when we talk about opportunities going
13 forward, we really need to focus on widespread adoption,
14 on meeting people where they are, and recognizing the so-
15 called sticky emissions, right, heavy industrial, heavy-
16 duty diesel, and jet. I see the opportunity for providing
17 a glide path to carbon neutrality that also prioritizes
18 energy reliability, affordability, and building on
19 economic prosperity.

20 We as a state and around the world have a
21 tremendous amount of infrastructure. You know, fueling
22 station, combustion engine vehicles, and the supporting
23 industries around that infrastructure, refineries
24 included. And so I think the key is figuring how do we
25 drive down emissions without throwing away that

1 investment. If we're able to do that, that can also make
2 our advancements more palatable and exportable to
3 developing countries, allowing California to have a GHG
4 reduction well beyond our approximately two percent of
5 global GHG emissions, and so making the business case for
6 the reduction.

7 You know numerous studies have recognized that
8 we cannot get rid of oil and gas entirely because we're
9 going to continue to have ongoing demand for the products
10 from those materials. One wonderful study was the
11 "Getting To Neutral Report" that came out from Lawrence
12 Livermore National Lab. Petroleum products are
13 intertwined in our economy. So how do we do the best that
14 we can, recognizing that carbon neutral does not mean no
15 oil and we cannot just abandon that industry.

16 I argue that we do that by utilizing the Low
17 Carbon Fuel Standard continuing to drive down the carbon
18 intensity of liquid fuels, but also to support innovation
19 around neutral or even negative carbon intensity renewable
20 fuels that can be used by that existing infrastructure.
21 Most importantly, I think our regulators and our
22 policymakers have to give space for innovation and be
23 careful not to prematurely decide what will get us there
24 to the detriment of innovation that might prove critical
25 for us actually to achieve our goals.

California Reporting, LLC

(510) 313-0610

1 At Kern, we are going down a dual path of, you
2 know, expanding our existing renewable fuels and also
3 aggressively pursuing next generation renewable fuels.
4 And by next generation, we're really focused on waste to
5 fuel, looking at ag waste, municipal solid waste, or woody
6 waste, especially when you look at the push for better
7 forest management and the likelihood of additional
8 material. And so that's really an opportunity to hit two
9 birds with one stone: Finding a home for these waste
10 materials instead of burning landfill or land application,
11 and to generate these negative carbon intensity wet
12 renewable fuels that can be utilized in existing vehicles,
13 fueling stations, and be made in our refineries. Next
14 slide.

15 From a high-level perspective, I think it's
16 important that we focus on the big picture. We have to be
17 careful not to address issues in a vacuum without
18 considering unintended consequences. We risk creating
19 more serious problems than the ones we try and solve. I
20 think having a large group of stakeholders is a piece of
21 it, but we also need people with skin in the game. It's
22 way too easy to advocate for policy when you don't have to
23 actually live with the consequences. Regional might be
24 the appropriate scale to have that line of sight and also
25 have the process be small enough to stay manageable and

1 making sure that people have a personal connection to the
2 outcome. B3K, the Better Bakersfield & Boundless Kern, I
3 think is one example of that kind of work. Look it up.
4 It's great.

5 Regulatory uncertainty is a tremendous obstacle
6 to renewable fuel investment. It can take years to get
7 from concept to execution and, frankly, we don't know if
8 the incentives or even the regulatory programs are still
9 going to be there.

10 The conflicting policy that we get across
11 agencies and from the Governor and the State versus the
12 federal is also really challenging. I think streamlining
13 this process and having people have a clear understanding
14 of what they need to do to get a project off the ground
15 would help.

16 I also think the reluctance to fund or
17 incentivize oil and gas investments when it comes to
18 emission reduction and also renewable projects is
19 extremely problematic. You know we have the same issues
20 when it comes to other industries around regulatory
21 uncertainty and not knowing whether we can make these
22 investments and support them long term, and so having that
23 support, having that investment or incentive can help us,
24 you know, green light some of these projects.

25 You know, I think it's incredibly important for

1 us to innovate and part of innovating is providing room
2 for failure. And so how do we create an environment in
3 California that supports people kind of pushing what we
4 can do. So thank you so much for the time, and I
5 appreciate the opportunity.

6 MR. STOUT: Thank you, Jennifer, for your
7 summary of what you're doing to decarbonize and some of
8 the challenges that your industry subsector faces.

9 I will now turn it over to our last panelist,
10 Brian Seitz, from Frito Lay. He is the Sustainability
11 Principal Engineer and Energy Manager. He does not have a
12 slide deck, but I will go ahead and turn it over to Brian.

13 MR. SEITZ: Thank you, David.

14 Yes, thank you, everybody, for allowing me to
15 participate in this event. I was a last-minute add, so I
16 didn't have time to get a slide deck through our executive
17 -- or, I'm sorry -- through our external communications
18 team for approval, so my apologies; but I can speak a lot
19 to who we are, what we're doing as an organization.

20 So, as David said, I am the Principal
21 Sustainability Engineer and Energy Manager from Frito Lay
22 North America, so as such I oversee all of our Scope 1 and
23 Scope 2 Greenhouse Gas Emission Programs, all of the
24 reduction efforts across our manufacturing entities, so
25 that's about 38 manufacturing plants in total across North

California Reporting, LLC

(510) 313-0610

1 America, 32 of which are in the continental United States,
2 three of which are actually in the state of California.
3 So we do have a large manufacturing plant up in Modesto, a
4 very large plant in Bakersfield, and a pretty decent-sized
5 facility as well in Rancho Cucamonga. So excited to talk
6 about what we do.

7 You all know who we are. We're Frito Lay. I'd
8 like to think and suspect that many of you are our
9 customers in many ways. If not in the snake world perhaps
10 in one of our sister companies, through our beverages,
11 Quaker, etc., all umbrellaed under PepsiCo.

12 This is great timing for us. Most of our
13 efforts, I have just recently got through building out our
14 waterfalls to hit our newly-announced greenhouse gas
15 reduction goals. They're very lofty, very, you know,
16 cutting edge in many ways from an industrial standpoint
17 and a food and beverage standpoint. We are after a 75-
18 percent reduction in our Scope 1 and Scope 2 greenhouse
19 gas emissions by 2030. And then full net neutral
20 operation and supply chain by 2040, so about 10 years
21 ahead of the Paris Accord.

22 Part of that, we did make the RE100 commitment,
23 so we have gone completely renewable on Scope 2 greenhouse
24 gas emissions by way of red purchase. We did that last
25 year. Given the volatility within that market, we are now

California Reporting, LLC

(510) 313-0610

1 rapidly starting to diversify that and employ -- or deploy
2 BPA agreements with varying different entities to help
3 offset the Scope 2 and the amount of recs. that we have to
4 purchase from an annualized basis.

5 Additional to that, we still have very robust
6 programs around electrical efficiency. That's going to be
7 critical to one of our pillars over on the thermal side.
8 So a lot of our work to do or to go is going to be over on
9 our Scope 1 side on all of our natural gas consumption at
10 our facilities.

11 We have bucketed ours into three levers, if you
12 want to call them that. The first being ops efficiency,
13 so those are all of your traditional thermal efficiency
14 measures. Digitization, we are embarking upon our journey
15 on full digitization of sustainability within our
16 manufacturing facilities with batch forwards, submetering,
17 etc. Heat recovery -- excuse me -- heat recovery,
18 national oven strategies. The gentleman from California
19 Steel talked about they tried to electrify their furnaces.
20 I can't even begin to fathom the load that that was going
21 to require. We tried to do the same thing for our
22 toasting ovens, and we needed six megawatts per oven of
23 additional load just to try to achieve the same thermal
24 output. So that was not going to be feasible for us. So
25 we're trying to make those as efficient as possible.

California Reporting, LLC

(510) 313-0610

1 And then the second lever is going to be more
2 around renewable fuels, so we know that we have to start
3 to convert a lot of our steam generation operations off of
4 natural gas and over to biomass boilers. So we're
5 deploying, partnering with third-party consultants to
6 actually do a landscape survey of not just California but
7 the entire country on where is it going to make sense,
8 where is an available fuel source, and where, you know,
9 would we potentially be in competition for that fuel
10 source, so it we can start to lay out what our biomass
11 portfolio is going to look like. We do have two biomass
12 plants already, so we're looking to replicate those at
13 several other facilities.

14 Obviously things like solar, we have a
15 partnership with the CEC right now at our Rancho Cucamonga
16 facility where we're in the engineering design portion of
17 it, but we will be standing up a large microgrid at our
18 Cucamonga facility towards the end of next year.

19 Hydrogen, you know that's the big one, right.
20 You know we know that I don't have a pipeline that's
21 coming up to my plant full of hydrogen, but we know we
22 have to start to look to fuel switch over to a hydrogen
23 and/or other, you know, renewable natural gas type fuel
24 source. So that's spurred -- look at technology, reactor
25 technology that we can take our wastewater streams from

1 the manufacturing plant before it hits our onsite
2 wastewater treatment facility and then generate hydrogen
3 through a reactor process to then power either fuel cells
4 and/or boilers.

5 And then electrification. You know that's a
6 huge one for us. That's obviously involving a lot of our
7 fleet electrification. We've got our Modesto plant, we
8 have electrified their fleet. They will be getting their
9 first delivery of Tesla tractors hopefully, you know, this
10 year -- by the end of this year. So there has been a long
11 road there. As well as the rest of our fleet, so our
12 fleet team is going after complete electrification. The
13 challenge they have there is obviously availability of
14 those assets, given the size of our fleet.

15 And then we're looking to electrify any of our
16 current thermal loads. There's very few we can do right
17 now inside the facility, but we know that we we're excited
18 about what we may be able to hold for future, and there is
19 a research. We definitely need to beef up that technology
20 right now. Electrification of some of those thermal
21 processes just isn't mature enough for us to start to, you
22 know, take it off from a reliability standpoint.

23 I know we have talked a lot about CHP. We
24 actually have two CHP plants within our portfolio. They
25 are actually my two largest greenhouse gas contributors to

1 my fleet, so I have to have solutions for them. We do
2 recover the heat, we do generate steam off of them. But
3 due to all the natural gas that we consume to generate the
4 electricity load for the facilities, we know we have to
5 solve it. So we're, you know, looking at deploying robust
6 solutions. We're building out what those roadmaps are
7 going to be.

8 The key thing that we realize as we start to
9 roll out our waterfall and what our reduction is going to
10 look like to get to the 2030, one, was we know we have a
11 gap, so that's where transformative technologies and
12 things like that are going to start to come into play, and
13 that's okay to have a gap at this standpoint, but our gap
14 is relatively small. But the other thing is, is there was
15 not one tactic that we could say was like the homerun,
16 that this was going to give us step function changes when
17 we laid it all out. It's actually going to be a bunch of
18 -- in terms of baseball -- a bunch of small ball. You
19 know, singles and doubles. You know we're going to have
20 to single them to death to get there, but it adds
21 complexity to the plan and the challenge ahead of us, but
22 we do know that we can get there.

23 So that's really what I had. You know, from a
24 journey standpoint that's what we're looking at doing in
25 the areas that we're looking to lean in, you know these

1 areas apply for both our snack manufacturing as well as
2 our beverage operations. We do have several of those in
3 the state of California as well.

4 Thank you. Thank you for your time.

5 MR. STOUT: Thank you, Brian. Thanks for
6 joining late to our panel, even though we didn't give you
7 enough time to prepare a proper presentation and get it
8 through approval.

9 I will now turn it over to your dias,
10 Commissioner McAllister, to have his Q&A session.

11 COMMISSIONER MCALLISTER: Great. Thank you,
12 David. I really appreciate that.

13 And thank you to all the panelists. You
14 complement each other very well. I think we heard some
15 themes, primary among them I would say, you know, there is
16 no silver bullet. We're really talking about silver
17 buckshot and single, lots of singles. And so I think
18 that's a fair strategy for winning the game, so. So
19 hopefully it works for us too.

20 I guess I would love to visit, first of all, I
21 can't speak for all of the Commissioners but I suspect
22 that several of us would love to do a little tour of your
23 facilities in Southern California and kind of do maybe do
24 a big circle and get as many of you as possible in there,
25 but certainly Applied Medical and California Steel, I

California Reporting, LLC

(510) 313-0610

1 think those would be very, very interesting to visit.

2 And I know from personal experience how
3 enlightening it is to actually set foot in a plant and
4 look at the actual machines and the actual processes and
5 talk to the actual floor manager that's got it, that's in
6 charging of production to really get a feel for challenges
7 and the realities that the industries face. And so I
8 think that would be super helpful.

9 And then on the flipside, you know the CFO or
10 the decisionmaker that really kind of has to keep an
11 overview of the business and make decisions based on the
12 global reality and so I think that definite piece of it is
13 equally if not more important. So there is a lot of
14 pieces to this puzzle.

15 I guess I wanted to just talk about --

16 (Tones.)

17 COMMISSIONER MCALLISTER: -- ask you -- sorry --
18 sort of help us prioritize. Okay, so here we are with the
19 State. You know happily we're looking at having some
20 resources to approach the industrial sector. We know more
21 or less where the emissions are, we know some of the
22 challenges.

23 If you were putting together a program to really
24 get the most bang for buck in terms of helping our
25 industrial sectors decarbonize, I'm thinking there are

California Reporting, LLC

(510) 313-0610

1 roughly three buckets, so you could certainly correct me
2 or give your understanding on this, but you know we have
3 existing technologies that may be fairly capital intensive
4 to sort of jump tracks to new processes. You know maybe
5 that's electrification. You know those are relatively
6 stiff investments that have to have a long timeframe. And
7 so is there a possibility for this space to help match,
8 make for capital, or pitch in its own capital, so
9 utilizing existing technologies, developing new approaches
10 that just help you optimize. You know, maybe that's data
11 approaches, monitoring causes, improvements, things like
12 that. Or number three is sort of the policy and
13 regulatory side. And I think we have heard particularly
14 on number three that you see some deficiencies in the
15 policy side really that could help facilitate your
16 decisions that you would already like -- like to take.

17 So I guess, you know, in terms of your biggest
18 bang for the buck for a program, that if we're going to
19 put some resources somewhere, is that technology
20 investment, is it technical assistance of some sort, is it
21 more of a facilitative conversation that we should be
22 putting resources into?

23 MR. MALIN: I'll take this up first. You know
24 we're a private industrial operating company. We don't
25 need incentives. We are doing this ourselves. We're not

1 looking for funding, we're not looking for help. What
2 we're looking for is a clear process. And our issue is
3 the interconnection process as -- it hasn't helped us
4 achieve the efficiency we want to achieve. And I would
5 venture to guess we're not the only ones trying to do what
6 we're trying to do. I'm just -- you know, I'm happy to be
7 here as a guest of the Commission, but I think the biggest
8 bang for your buck is trying to figure out you've got this
9 conflict of interest here, as a company I want to use less
10 electrical power, right. So here I'm asking SoCal Edison,
11 hey, help me to use less of what you're trying to sell me,
12 right. So you've got this kind of inherent conflict of
13 interest. What's in it -- what's in it for them, right.
14 So why would they and why would they make it easier, why
15 would they make it faster.

16 And so from a practical standpoint we run into
17 that problem on the ground, when we're trying to get an
18 interconnection across the street. Oh, you can do this,
19 you can do that. No, that's not true.

20 You know, there's this thing called the filed
21 rate doctrine which says, hey, no matter what the utility
22 says, there is a rate that's been filed, so even if they
23 tell you, you can do something that you really can't, it's
24 on you as the customer to really know that. And I think
25 that's a challenge where you need a level of

1 sophistication, right, to understand that.

2 COMMISSIONER MCALLISTER: Well, thanks for that.
3 I guess I would point out there are some precedence for
4 this. In the early-ish days of the rooftop solar kind of
5 transformation that California had seen, the globe had
6 seen really, the Governor's Office, this predates the
7 current administration, but I think it's instructive, the
8 Governor's Office convened stakeholders around the rooftop
9 solar, obviously it's a completely different sector or a
10 largely different sector, but to really come up with best
11 practices for local governments in terms of permitting
12 and, you know, how building departments could get the huge
13 -- you know, get that job done really by facilitating
14 inclusion of rooftop solar. I wonder if there is not
15 another sort of facilitated conversation that might be
16 analogous to that where we could get people in the room to
17 really try to hash some of this stuff out, acknowledging
18 that the interconnection issues really do sit more with
19 the PUC than at the Energy Commission.

20 MR. MALIN: It is and, you know, through the SB
21 1339 which was the bill that current -- is trying to
22 commercialize microgrids, there is a statute in there that
23 says the Energy Commission has to consult with the PUC --

24 COMMISSIONER MCALLISTER: Yeah.

25 MR. MALIN: -- on that. You know I'll share

1 with you, because I come from GO-Biz, I remember what
2 you're talking about, I'm aware that there is, I think,
3 maybe one of the trailer bills is looking at installing an
4 energy policy unit within the Governor's Economic
5 Development group to think about how energy policy
6 actually influences the state's economy. That might be a
7 good conduit for that discussion, you know, and here we
8 are in the workshop, but, yeah, maybe we could take that
9 one offline.

10 COMMISSIONER MCALLISTER: This is really a
11 matter of industrial policy, as we were discussing this
12 morning --

13 MR. MALIN: Yeah. That -- right. That unit
14 would be looking at industry policy, right. It would be
15 looking at those policies --

16 COMMISSIONER MCALLISTER: Yeah.

17 MR. MALIN: -- to figure out where we can --

18 COMMISSIONER MCALLISTER: I want to --

19 MS. HALEY: I was -- I was going to say, if you
20 don't mind, Commissioner McAllister, I will jump in and --

21 COMMISSIONER MCALLISTER: Yes, please. Please
22 do.

23 MS. HALEY: -- try to kind of pull it back a
24 little bit. And I think some of -- I'll say -- the
25 whining you're hearing from some of the panelists,

1 including me, is because there is this confusion around
2 what we're allowed to do, how we're allowed to do it. And
3 you think you're okay with one agency and then all of a
4 sudden you're sideways with another agency. And so I
5 think it's critical whatever you decide to do.

6 And, Jeff, I think we do need incentives and we
7 do need funding, but you have to have the regulatory
8 support after, right. It's not enough just to provide the
9 incentive or funding, you have to take a step back and
10 look at the system as a whole and think what can we do to
11 make this easier. What can we do to accomplish these
12 goals that we're telling stakeholders we want you to
13 accomplish, but we're going to put increasingly high
14 hurdles in order for you to get there. And so I do think
15 that that's almost like one leg of the stool that's really
16 important. And I know we were talking about that even
17 from permitting a renewable project, right.

18 And someone in Kern County made this comment to
19 me of, you know, we only want the people who really want a
20 renewable project in California, right. And it's because
21 it's so difficult to figure out what you have to do and
22 who you have to clear it, that you're necessarily pushing
23 out a lot of interested parties and investors because they
24 just can't figure it out. And so I do think having more
25 of a streamlined process and maybe even it's a legislative

1 roadmap of, okay, here are the things that we need to do,
2 so it's clear this is the agency that ultimately has
3 authority even if there's some overlap and there has to be
4 some consulting, I think having that regulatory clarity
5 would be extremely helpful when it comes to pushing
6 forward projects or innovation.

7 COMMISSIONER MCALLISTER: Thanks, Jennifer.
8 And, to be clear, I do not hear what you're saying as
9 whining at all. I don't think any of us do, really. I
10 mean we have to acknowledge, you know, part of the reason
11 we haven't made a lot of decarb progress sort of at least
12 intentionally as a state, I mean I congratulate all of you
13 on what you've done of your own accord to optimized your
14 processes, and there is a decarbonization benefit from
15 that, you know, in a big way, but in terms of coordinating
16 sort of a more consistent response, I think that's exactly
17 why we're here, so. And if one of the solutions to this
18 is convening an interagency, you know, with stakeholders
19 kind of conversation, I think that's -- that's a
20 tremendous outcome, actually, because we -- if it could
21 help define exactly what that would look like, I think
22 that right there is a big step forward. And then not that
23 that's all we want to do, but I think that in and of
24 itself is good to do.

25 MS. HALEY: Well, and I guess I'll just chime in

1 to answer the other part of your question. I mean we have
2 these jokes about silver buckshot and hitting singles, and
3 I think that's absolutely right. You know one of the
4 issues that we run into is with some agencies we -- the
5 response when we ask how funding was, 'Well, we like to
6 fund start-ups.' Do you know what the failure rate is of
7 start-ups? Like, and that's great, like we want to
8 encourage kind of up-and-comers, but some of this
9 technology is not sexy and exciting and new. It's these
10 little incremental benefits that are going to have a huge
11 impact across the system not only in California but
12 outside our borders. And so I do think it's important to
13 have not only short-term, long-term benefits, but also
14 recognize that there is value in those incremental
15 benefits, particularly when you can apply them across
16 industries, right. And so trying to balance that wanting
17 something bright and shiny for this election cycle
18 sometimes versus, you know, what's ultimately going to get
19 us to our goal.

20 COMMISSIONER MCALLISTER: Yeah. Thanks for
21 that. And I couldn't agree more.

22 I think -- so, Steve, or Scott and Brian, did
23 you have any ideas you want to pitch in?

24 MR. SEITZ: Commissioner, I'm a huge fan of the
25 FPIP program that you guys have -- by way of that or have,

California Reporting, LLC

(510) 313-0610

1 in essence, unlocked our ability to go and start to stand
2 up the microgrid at our Cucamonga facility. So while we
3 have huge hurdles and we know those are going to take
4 absolutely investments from the organization, we're still,
5 you know, connecting those two together. So programs, as
6 Jennifer was mentioning, that provide incentives, grant
7 and funding things like that help us to close the gap from
8 a payback standpoint that help it -- help us to get our
9 program stood up a lot sooner than what we would be able
10 to, right.

11 So I think that if you are looking from a
12 program standpoint, something in lines of the FPIP or
13 equivalents, you know, across other industries or sectors
14 or industrial sectors, I think those pay huge benefits.

15 And then even as much as just a program that
16 doesn't even take a lot of funding, right, just resources
17 potentially within your state, looked at the forum
18 consortiums of like low carbon pilot programs. I
19 participate with the DOE in their low carbon pilot
20 program. So you might look at something like that, to
21 have consortiums of. And the industrial sector, be able
22 to regularly meet up and brainstorm and talk about what
23 each is doing, and things like that.

24 MR. COPPINGER: I agree with all these comments.
25 And I think if you can envision some of these solutions

1 that we've talked about today, whether it's carbon capture
2 or utilization, energy efficiency, all these different
3 avenues, each one of those is going to take a huge
4 permitting process. Any time we change our equipment or
5 our process or alter our emissions in any way, even if
6 it's to improve energy efficiency, for example, we have to
7 go through the hurdles of, you know, possibly new source
8 review or some sort of permitting process to get through.
9 And that could take a long time. And that's sometimes
10 going to hold us up from what we'd like to accomplish.

11 COMMISSIONER MCALLISTER: Well, that's a great
12 point. How important is federal and state coordination in
13 that regard in terms of the air issues? I mean we
14 obviously have a lot of authority primarily in the ARB in
15 the state, but, yeah, a new source review, etc.

16 MR. COPPINGER: Well, it's critical. You know
17 in our business we deal with the national Title 5 type of
18 permitting, but we have to deal with local authorities in
19 each one of our facilities to make that happen. And,
20 again, we have the case where we have this Pozzolan
21 material which can reduce the CO2 when you blend it with
22 concrete or cement. When you have a mining site, we have
23 been permitting for two years now, you know as soon as we
24 can get this material authorized for mining, we can save
25 energy -- or some greenhouse gas emissions right away, we

1 still have another year or two, so that uncertainty I
2 think makes it a challenge overall.

3 COMMISSIONER MCALLISTER: Thanks for that. I
4 feel -- so Commissioner Monahan had to drop off, and I
5 feel a little bit remiss if I don't channel her a little
6 bit. And I think on -- you know three of you mentioned
7 sort of how to displace fossil with bio resources, with
8 hydrogen, and then liquid fuels, you know the bio
9 resources as well with unit fleet, etc. I wonder if there
10 is anything -- I'm not going to ask nearly as articulate a
11 question as Commissioner Monahan would, but I wonder if
12 there -- you know, we could have an analogous, just a very
13 brief discussion, because we do have some time
14 limitations, but just what we could do there, and
15 certainly LCFS is kind of front and center on the fuel
16 side, on the liquid fuel side. I wonder -- and we have
17 these cross -- you know, electricity fuel substitution --
18 we have the cross, different-kept sectors, but what could
19 potentially facilitate a conversation look like for those
20 resources?

21 MS. HALEY: So I'll jump in quickly and say, you
22 know, I think we have to recognize that not everything we
23 try is going to work, right, but there is value in giving
24 space for the innovation. So I think funding kind of
25 those smaller kind of pilot projects or even smaller scale

1 commercial to see what technology or what feedstock works,
2 I think that would be helpful. And that provides a little
3 bit of that -- you know, that payback and that certainty
4 where you don't feel like you're betting the farm on
5 something that might not work out. And at the end of the
6 day, I think a lot of the companies that are trying these
7 things, it's for the benefit of the entire state, right.
8 Even if it doesn't work, it's like, okay, we've tried
9 that, let's try something else.

10 COMMISSIONER MCALLISTER: Actually I see that
11 Commissioner Monahan is back. Thank you, Jennifer.

12 Hopefully I didn't butcher your thoughts or
13 misrepresent, Commissioner Monahan. I'm trying to ask
14 some questions more about the biofuels and looking at
15 something more over to the transportation sector, but if
16 you'd like to ask a question, please go ahead. We're
17 ready when you are --

18 COMMISSIONER MONAHAN: You know, I missed a lot.
19 I had to run off for another sensitive issues, so I
20 missed, sadly missed, but I hope to be here for the entire
21 next hour, so.

22 COMMISSIONER MCALLISTER: Great. Great,
23 perfect. So let's move quickly to the Q&A, if we have
24 any, from the Zoom audience.

25 MR. STOUT: We just have one question in the

1 chat. Feel free while I'm reading it, if there are any
2 additional questions, to type it in the Q&A.

3 So this one comes from the Bay Area Community
4 Land Trust: The production of biofuels can require the
5 use of extremely hazardous materials that pose a risk to
6 the surrounding community. How are you managing these
7 risks?

8 And I think, Jennifer, this was directed towards
9 you.

10 MS. HALEY: All right. So figure out how to get
11 myself off mute, right. No, I think that this is an
12 excellent question. And before I dive into the details, I
13 will say I think all of us, whether you're a biofuel
14 facility, a refinery, a producer, a chip manufacturer,
15 right we operate at the grace of our community. And if
16 we're not a good community operator and we don't care --
17 take care of our employees and our community, we're not
18 going to be able to operate anymore. And so I do think
19 this is an important perspective.

20 I think on the specific question, from a
21 feedstock perspective, right, we're looking at using
22 nonhazardous materials, you know, tallow and animal fat,
23 which is closer to food and even woody waste and things
24 like that. And then from a processing perspective, I
25 think there are robust regulatory requirements. And for

1 us as a facility, we make safety and environmental
2 compliance an absolute priority for every single one of
3 our employees. And then we have a robust environmental
4 health and safety department that's also helping kind of
5 facilitate those conversations.

6 But at the end of the day, you know we are
7 operating in the communities that we live, they're our
8 homes, and so, absolutely, safety and environmental -- you
9 know, that has to be the number one thing that we do. And
10 I think it's a balance. And from a Kern perspective, I
11 also think it's providing the opportunity to innovate
12 around carbon reduction, NOX reduction, particulate
13 matters, looking at ways we can continue to innovate in
14 order to be a more efficient operator and also be an even
15 better community participant.

16 COMMISSIONER MCALLISTER: Great. So is that it,
17 David, for questions?

18 MR. STOUT: Yes, that's it for questions for
19 now.

20 COMMISSIONER MCALLISTER: Okay. So --

21 MR. STOUT: Back to Heather.

22 COMMISSIONER MCALLISTER: Let me just -- I just
23 want to ask Scott: Scott, did you have anything to add
24 here? I know -- I'm not sure if you've been crowded out
25 or if you're just happy with everybody else's answers.

California Reporting, LLC

(510) 313-0610

1 MR. STARR: I think everybody has answered the
2 questions more than adequately, but not to lose anything,
3 incremental gains are okay. We don't have to shoot for
4 the moon every time. But we know there's things we can do
5 right now to help us along and make it better for
6 everybody. And realizing that this doesn't stop at the
7 border. So this is -- this is something we all want to
8 do, but we have to realize the environment we're working
9 in.

10 COMMISSIONER MCALLISTER: That's okay. Well,
11 I'm super excited to continue this conversation. And I
12 guess it sounds like, just the take-away from my
13 perspective, you know trying to sort of anticipate getting
14 some resources to dedicate to this sector, but also sort
15 of hearing from this panel that really it needs to be a
16 broader conversation beyond just resources but really sort
17 of understanding in a more integral way the challenges and
18 needs of the various participants in this sector, in our
19 economy, and kind of go from there, really, and then
20 hopefully distill out some channels for actual resources
21 and project funds. But that is really a great start, so
22 thanks a lot of all you for helping get us oriented and
23 pushing this conversation forward. And it's really huge.
24 Thank you.

25 MR. STOUT: Thank you.

1 All right. Well, thanks to our panel.

2 Back to Heather. I think -- and I see Dr.
3 Kissock is on, so thank you for being with us here as
4 well.

5 I will pass it off to Heather for introducing
6 the next panel.

7 * MS. RAITT: Great. This is Heather. Our next
8 panel is on what policies or programs are needed to
9 accelerate decarbonization. And Dr. Kissock is moderating
10 and he is the Facility Director at the Energy Efficiency
11 Institute and Director of Mechanical and Aerospace
12 Engineering at the University of California at Davis.

13 So go ahead, Dr. Kissock. Thank you.

14 DR. KISSOCK: Thank you, Heather.

15 As Heather said, I'm Kelly Kissock. She gave
16 you what I do. The Energy and Efficiency Institute has
17 been advancing energy efficiency in California for 15
18 years through private-public partnerships, research and
19 development. Like Ahmad and Asfaw from this morning's
20 sessions, I've had the pleasure of working closely with
21 industry on energy efficiency and economic competitiveness
22 for 25 years as a director of the DOE-sponsored Industrial
23 Assessment Center.

24 And I'd like to thank the Commissioners for
25 inviting me to be a part of this important panel, and our

California Reporting, LLC

(510) 313-0610

1 panelists for their participation.

2 Our panel will be discussing what policies or
3 programs are needed to help industries accelerate
4 decarbonization. And our first speaker is Lance Hastings.
5 Lance is President and CEO of the California Manufacturing
6 and Technology Association. He's a long-time advocate of
7 job creation in California's high-paying manufacturing
8 sector. Prior to joining CMPA, he served as a Vice
9 President of National Affairs for Miller Coors,
10 internationally for SABMiller, and as a Chief Consultant
11 in the California State Legislature.

12 Lance, it's your show.

13 MR. HASTINGS: Thank you very much, Dr. Kissock.

14 And thank you all at the Commission for bringing
15 together this forum today and listening to the
16 conversation from this morning through the last panel.

17 It's becoming more apparent and evident and
18 hopefully optimistic from where we sit that there is in
19 fact a holistic approach that's being utilized to really
20 tackle, I think, the largest the problem of era, and that
21 is going to be how we manage our carbon future.

22 We now are hitting some of the mid strides, the
23 goals and objectives, it sounds like we're ahead of 2020,
24 but we've got a long, long way to go. And I appreciate
25 the various perspectives from this morning through today.

California Reporting, LLC

(510) 313-0610

1 So I'm hoping what I'm going to be able to do in the next
2 few minutes is kind of set the stage from a policy
3 standpoint from an industry sector, which mine is
4 manufacturing, and talk about how we can get there and
5 what it's going to take. But it is going to take a
6 partnership for sure.

7 But it's difficult when often we are referred to
8 as just polluters, and that's the first word that comes
9 out of people's mouths, and we are not that. We are
10 manufacturers that actually utilizes processes to turn
11 either raw materials or other goods into the products that
12 businesses and consumers desire. And, therefore, as a
13 byproduct of that we are able to create wealth. And when
14 I say wealth, I don't mean the pejorative sense that gets
15 bandied about in media, but I mean real wealth, growth of
16 GDP, and contributions to the economy. But manufacturing
17 is at the tip of the spear of the economy, because without
18 us we would be regulated to a service economy, which is
19 not sustainable in any community, let alone the diversity
20 and size and scope and scale of California.

21 So I just want to level set that, that
22 manufacturing is an essential part of the state's economy,
23 the regional economy, and our national economy.

24 And what you did hear in the last panel, we had
25 a couple of members of ours very well articulate, we all

1 want to be part of the solution. We are at this table,
2 we're on this panel, we've been on countless others, to
3 talk about how we can get there. Because come 2035, as
4 getting to 2030, to 2040, it's going to be difficult. And
5 it's not going to be a matter of the Legislature putting
6 more penalties on our sector to get there, it's going to
7 have to be done in a partnership, as I said just a minute
8 ago.

9 And I was a little bit discouraged on the first
10 panel where there was, you know, some discussion about the
11 potential waste within the energy space at businesses, and
12 I will use my example of manufacturing. I kind of
13 disagree with that and I challenge because energy is such
14 an important and expensive component to the manufacturing
15 processes that it is probably the most closely watched
16 input of all, even beyond labor. And there really is no
17 incentive to have any waste whatsoever on any of our
18 inputs, particularly the energy space, whether it be
19 electricity, natural gas, or others. So I just kind of
20 pushback a little bit on that.

21 I did want to comment that I had a wonderful
22 conversation with Commissioner Douglas a couple of months
23 ago now about the successes of the FPIP and as a model
24 that we may be able to generate some interest in what we
25 kind of jokingly refer to as a working title MPIP, that on

1 the manufacturing side it seems like there are quite a few
2 opportunities for us to look into some specific programs
3 that can help specific companies be more efficient and get
4 toward the target and with a little bit of incentive.

5 And I think you have heard the cliché before
6 that sometimes in the carrot and stick debate, make the
7 carrot as big as possible, as if it were a stick, and
8 that's the kind of approach I think that's going to help
9 us really advance the ball and I hope to continue those
10 conversations with not only Commissioner Douglas but the
11 other Commissioners as well.

12 And one item that I have been raising since I've
13 been in this role now two and a half years is that it
14 seems like we're in a binary debate. It's either the
15 Legislature and the regulating community or it's the
16 environmental interests and the business community, which
17 is a very binary approach. And what I think has been a
18 missing component to the broader discussion with really
19 academia and having the science and the research be
20 incentivized to identify ways for us to get there, and
21 whatever that there is of course is open to
22 interpretation. But it seems to be lacking and we have
23 kind of regulated ourselves to a purely policy decision
24 rather than one with a roadmap on how we can get there.

25 Now admittedly when the initial objectives were

1 set several years ago, it seemed really far enough, 2030,
2 2045, that's way down the road. But it's not. It is
3 quickly going to be among us. Yet every legislator that
4 was in office at the time that they were passed will not
5 be in office, barring a constitutional change that some
6 were able to run to office again due to term limits. So
7 we have the originating legislative body and the existing
8 legislative body that may not see eye to eye. And our
9 challenges in the manufacturing sector is we have to work
10 within that arena and that environment, and it's proving
11 to be more and more challenging as every year goes by. So
12 I want to make sure that we remain focused on really the
13 objective and ways that we can get there.

14 And I will just kind of wrap up my comments here
15 to talk about the end of the tunnel. It's clearly within
16 view for all of us, but it's a matter of -- and this is
17 very cliché -- is it the light at the end of the tunnel or
18 is it a train heading our way. And right now I think it's
19 hard for us to tell, but we can at least see down the
20 road.

21 And I think between the efficiencies that you
22 heard about earlier today by some of the manufacturers in
23 the group and the challenges for those next increments are
24 going to be quite expensive, let's really have that
25 discussion, this discussion, and these discussions so that

1 we can go to the regulating and legislative bodies and
2 really come up with a solution that works for all of us.
3 Because, after all, we're in the same boat, as it were,
4 we're in the same air, but we all have an incentive to
5 make it as clean as possible.

6 So with that I will wrap up and look forward to
7 any questions that come later. And certainly the
8 expertise of the panels that follow me are far greater
9 than I am. So thank you very much, Dr. Kissock.

10 DR. KISSOCK: Thank you, Lance, and thank you
11 for sharing both the motivation that I think we need and
12 the level set and mapping out cooperation and how to get
13 it there.

14 Our next panelist is Nora Sheriff. She is a
15 shareholder in Buchalter's San Francisco office and a
16 member of the firm's -- hold on just a second -- and a
17 member of the firm's Energy and Natural Resource Practice
18 Group. She serves as Counsel for the California Large
19 Energy Consumers Association and she focuses on electric
20 and natural gas regulatory and administrative litigation,
21 legislative efforts, and end-use contractual transactions.

22 Nora.

23 MS. SHERIFF: Thank you, Dr. Kissock.

24 And thank you, Commissioner McAllister and
25 Monahan, and all of the Energy Commission staff for

California Reporting, LLC

(510) 313-0610

1 setting up this workshop and inviting me to speak on
2 behalf of CLECA.

3 I would also like to thank Steve Coppinger for
4 CalPortland and Scott Starr for California Steel, they are
5 two important CLECA members that were on the prior panel.
6 I think it's a wonderful, wonderful thing that we have
7 industry speaking at this workshop and engaged this early
8 in this process for the potential industrial
9 decarbonization program, so I really appreciate that.
10 Next slide, please.

11 So a little bit about CLECA. They have been
12 around since the mid nineteen eighties. I have
13 represented them for about the last 10 years or so. And
14 they're an advocacy group for large, high-load factor,
15 high-voltage industrial customers for whom the cost of
16 electricity is a significant factor in the cost of
17 producing their product or service. And when I say a
18 significant factor, I mean more than a third of the cost,
19 to upwards of 70 percent of the cost of production.

20 They're in the steel, cement, industrial gas,
21 beverage, pipeline transportation, cold storage, mining,
22 and the food package industries. The aggregate electrical
23 demand is over 540 megawatts, the aggregate annual
24 consumption averages about 3,000 gigawatts, so they use a
25 lot of power. Most of the CLECA members are energy-

1 intensive trade exposed, which means that California as a
2 state wants to keep these industries here in California
3 operating their facilities because we want to avoid
4 emissions leakage from having those facilities located
5 elsewhere. We're not going to stop using cement, we're
6 not going to stop drinking beer, we're not going to stop
7 using steel. We're going to continue to need these
8 products and services.

9 Some of the CLECA members are bundled, meaning
10 they take service from the investor utilities. Some have
11 direct access. Some take service from community trade
12 aggregators. All of the members, however, are laser
13 focused on their electricity consumption, on their energy
14 consumption. So all of them participate in demand
15 response and all of them invest in energy efficiency both
16 here in California and nationally and internationally.
17 They know a lot about this field. Next slide, please.

18 So I have two key points, and this is the first
19 key point that I'd like to make. I think that the
20 decarbonization goal should guide the awards from an
21 industrial decarbonization program and from that
22 perspective, from that key point, I think you should
23 recognize that the cost of a decarbonization effort, of
24 the decarbonization project is a significant barrier to
25 industrial decarbonization. And CLECA recommends that you

1 consider matched funding percentage levels of at least 50
2 percent to as high as 75 percent.

3 Just some of the examples of the cost and
4 recognizing that a lot of the low-hanging energy
5 efficiency fruit has already been plucked by these energy-
6 intensive industries, you have a cost of \$10 million or
7 more to put in a boiler stack carbon dioxide recovery
8 unit. Carbon capture and storage can cost from 10 million
9 to over 25 million per site. A new efficient boiler can
10 be about \$5 million per site. And efficient air
11 compressors, the cost for those could range from 500,000
12 to over a million dollars per site.

13 A key point that Scott Starr made for
14 California Steel was these industrial facilities in
15 California are already facing an energy premium because
16 the cost of electricity here in California is so much
17 higher from the cost of electricity in neighboring states,
18 that that cost really is a key factor.

19 Also wanted to mention waste heat recovery;
20 bottom recycle CHP, which I personally really believe
21 should be considered energy efficiency, but it's not, so
22 it's not just the cost of that waste heat recovery
23 capital. There is also a departing load charge that gets
24 layered onto a waste heat recovery, combined heat and
25 power facility that's behind the meter, and that departing

1 load charge gets layered on top of that as an additional
2 cost and that can really kill the economics of a combined
3 heat and power waste recovery project, so I think there is
4 a potential for policies going at cross purposes here
5 between the decarbonization and then the departing load
6 charge.

7 So when you're looking at the proposals, we'd
8 also like to suggest the lens of focusing on the biggest
9 carbon-reduction bang for the buck. And on that point,
10 don't set any restrictions that would limit applications
11 or awards based on either the customer size or the project
12 size. California has -- as one of the prior panelists put
13 it, you know, we like to fund start-ups has been sort of
14 the mindset here. There is a small is beautiful mindset.
15 So looking perhaps at projects that are under 500 kW or
16 under a megawatt or if it's a five-megawatt project you
17 would only fund the first megawatt with an incentive, we
18 don't think you should do that with this potential
19 industrial decarbonization program. That I think would be
20 a mistake. So focus on the decarbonization goal, focus on
21 the biggest bang for the buck, and don't restrict
22 needlessly based on size.

23 And the next slide, please.

24 So, finally, have a clear, concise, and set
25 process. The guidelines, the parameters for review

1 shouldn't change, particularly after applications have
2 been submitted or a solicitation has begun. Avoid lengthy
3 and unduly complex applications. The time line for review
4 should be set in advance, should be known by all the
5 participants. It should be reasonable, not too long to go
6 from an application or bidding into a solicitation and
7 finding out whether or not you have made.

8 And we really do like the FPIP model, the Food
9 Production and Investment Program, where you have that
10 streamline track with the drop-in known technologies. If
11 we could get projects and then perhaps the more indepth
12 tract for newer technologies, newer projects, newer costs.

13 So, finally, for all projects I think regardless
14 of track, the process should again be clear, should be
15 timely, and it should not change.

16 One point I would like to flag that was raised
17 on a prior panel, when you're having industries, and if
18 everybody's in the same industry you might have some
19 antitrust concerns about sharing information, particularly
20 when you're so energy intensive and it's a big component
21 of your cost structure, I just wanted to flag a concern
22 around the confidentiality of energy usage and how you
23 have to be really careful if you're looking at setting up
24 cohorts to sort of benchmark what's the appropriate, you
25 know, level of efficiency everybody should be achieving.

California Reporting, LLC

(510) 313-0610

1 Make sure you set up those cohorts thoughtfully and don't
2 have just everybody from one industry in a cohort. I will
3 -- I just wanted to flag that.

4 And thank you so much again. This is a really
5 exciting workshop and we're thrilled with this potential
6 program. So thank you. Thank you, Dr. Kissock.

7 DR. KISSOCK: Well, thank you, Nora. And thank
8 you for helping us stay mindful of how trade exposed
9 industry is and then offering some positive solutions for
10 going forward.

11 Our next speaker is Wayne Nastri. He is the
12 Executive Officer of the South Coast Air Quality
13 Management District. Previously he served for eight years
14 as EPA's Regional Administrator for the Southwest Region.
15 And, just a second, and where he worked with public
16 industry and government on pollution prevention efforts.

17 So, Wayne, I don't think you have slides, but go
18 ahead and take it away.

19 MR. NASTRI: Thanks, Dr. Kissock. And, yes,
20 you're correct, we don't have slides.

21 And, to be honest, I think I was somewhat
22 surprised when we at South Coast were asked to participate
23 in the panel. And then after listening to the panelists,
24 I think that I'm very glad that we're here today and I
25 want to especially appreciate, send my appreciation to the

1 Commissioners and CEC staff for inviting us.

2 I think when we look at decarbonization, you
3 know, we heard other panelists, that we're all in this
4 together, that we all sort of breathe the same air, and
5 that there are challenges from different regulatory
6 agencies with different authorities. And, as each of the
7 presenters were speaking, I thought, oh, yeah, I know
8 they. We regulate them. They have permits with us.

9 And I can really appreciate the myriad
10 challenges that they face as they go through that
11 permitting process. And then I think that as we look
12 toward the future, it's really important that we also look
13 at what's right in front of our very nose. And while we
14 talk about accelerating decarbonization and people are
15 talking about 2040, 2035, the fact of the matter is we
16 actually have standards that we have to attain by 2023, by
17 2031, by 2037. And if we don't attain those air quality
18 standards, we as an area face large sanctions.

19 And you're probably saying, well, how large.
20 You know if we're not in attainment for the ozone
21 standards, we can lose anywhere from four to six billion
22 dollars a year. That's a billion dollars a year in DOT
23 funding. And the importance of the Clean Air Act is that
24 it does require that we take a look at all of these
25 things. And I sort of say this because as we try to

1 invest and plan for the future, we've got to make sure
2 that there is a smooth transition to that future. And,
3 you know, we heard a lot of people talk about reliability,
4 dependability, cost-effectiveness. You know, from our
5 perspective reliability is key. And let me give you an
6 example of why reliability is a key.

7 When we just had one power outage on one circuit
8 and the backup generators kicked in, we had estimated that
9 the total NOX contribution for that one day exceeded all
10 of the NOX contributions from all of the refineries
11 combined. Now is that a lot? Well, let me put it in this
12 context. Right now the State of California has an
13 obligation to reduce NOX by 108 times per day by 2023.
14 And I can tell you we're nowhere near that. And when we
15 look at the power outage events that can contribute over
16 38 tons of NOX a day.

17 Then the other aspect that you have to look at
18 are where are those impacts occurring. Nearly 60 percent
19 of the disadvantaged communities in California are within
20 the South Coast AQMD, and it's those communities that have
21 suffered the disproportionate impacts of air quality that
22 continue to suffer. And so I think when one of the
23 comments was made that, hey, you know, we've got to have
24 the ability to try and to fail, and having been at the
25 federal government, having been at private industry, I'll

1 tell you this if we fail it is costly. It's costing
2 people's lives. And if we're not meeting the standard, we
3 know, for instance, that PM emissions cause premature
4 deaths. We have over 4,000 premature deaths here in the
5 South Coast Basin every year.

6 So looking at the reliability as we transition
7 to a decarbonized future is critical. You know we've
8 heard people talk about hydrogen, we've heard people talk
9 about renewable natural gas. They're great. We're
10 supportive of those. The challenge that we see is to
11 deploy them at scale so that we get the results soon
12 enough. And what is that going to take? We know we can't
13 regulate our way into compliance, into attainment, and so
14 what do we have to do? We've got to provide incentives.

15 And so it's so important for organizations like
16 the CEC and the South Coast AQMD to work with the federal
17 government to really get funding, whether it's through the
18 next relief plan, whether it's through an infrastructure
19 package, but we've got to be able to invest in the
20 deployment at scale of technologies that are going to give
21 us the immediate benefit both in terms of air pollution as
22 well as decarbonization; because we fully agree that when
23 you look at the climate impacts, we've got to get to zero.
24 And when we get to zero emissions we will, in large part,
25 have addressed the air quality challenges that we face.

California Reporting, LLC

(510) 313-0610

1 And I think the other aspects is, you know, we
2 always talk about how transportation is over 80 percent of
3 our NOX on the heavy-duty side. But on the
4 industrialization side, the two have to go hand in hand,
5 and so whether we're looking at the creation of cleaner
6 fuels through biofuels and greater deployment, we've got
7 to think about how those two can be combined in the
8 transportation sector so that we get the benefit of both.

9 And I think the other aspect that's really
10 important is that when we look to industry on some of
11 these decarbonization efforts, the energy efficiency
12 efforts, we also have to recognize that there are
13 applications in the residential, private sector that will
14 also yield significant benefits. And so, for instance,
15 there is a lot of talk about heat pumps being utilized to
16 replace air considerations. We know from an energy
17 efficiency perspective that's going to be a great way to
18 address some of the decarbonization efforts. And it will
19 also help us reduce a lot of the NOX emissions.

20 So I think it's really important that we again
21 look at what are the immediate requirements, how do we
22 plan for the long-term requirements, recognizing that we
23 need to get some of those immediate benefits. And the way
24 that I see that happening is really through collaboration
25 to recognition of what are those -- for instance, Clean

1 Air Act requirements, whether it be for oxides of nitrogen
2 NOX, so that we address ozone, or whether it be for
3 particulate matter.

4 And the fact of the matter is that we see air
5 quality becoming more difficult as we see a warming
6 climate. And, you know, this was certainly predicted by
7 the -- I think in the Fourth National Climate Assessment
8 that put forward where they saw rising temperatures across
9 the west. And so it's important that we tackle the two
10 issues together, not losing sight of the impact that one
11 has over the other. And so I think in that sense again
12 the coordination aspect and really the utilization of
13 those cleaner fuels at scale and getting them out in a way
14 that really gets us to benefit as opposed to sort of some
15 of these demonstration projects.

16 We have a good sense of technologies at work.
17 Let's invest in it. Let's get those benefits and really
18 move out in that sense. And I look forward to answering
19 any questions that you may have on that, so thanks, Dr.
20 Kissock.

21 DR. KISSOCK: Yes. Thanks, Wayne, and thanks
22 for calling out some of the economic and the social
23 justice and the health aspects and how interrelated this
24 is, as we make this transition.

25 MR. NASTRI: Thank you.

1 DR. KISSOCK: Our last speaker is Catherine
2 Reheis-Boyd. Catherine is President of the Western States
3 Petroleum Association. She's worked as an Environmental
4 Consultant for Getty Oil and Texaco. She manages a broad
5 range of association activities, including legislative and
6 regulatory issues associated with transportation fuels
7 policy, air and water quality, climate change, renewable
8 fuels, and alternative energy issues.

9 Thanks for being here, Catherine.

10 MS. REHEIS-BOYD: Thank you, Doctor. And also I
11 tried to undo my video and it says I cannot because the
12 host has stopped it.

13 Ah, there it is. Is it on now? Can you hear
14 me?

15 DR. KISSOCK: Yeah.

16 MS. RAITT: Yes, we can.

17 DR. KISSOCK: Both your audio and video are now
18 working. Sorry about that.

19 MS. REHEIS-BOYD: No problem, no problem. Well,
20 thank you. I appreciate it, Dr. Kissock, Commissioners,
21 the CEC staff.

22 As WSPA, we represent the oil and gas industry,
23 and we provide certainly reliable and affordable fuel in
24 the five western states that we operate. And, frankly, we
25 do that because we meet consumer demand. And, most

1 expectingly and excitingly for me, frankly, is to
2 represent our members on the innovations of the future
3 that are going to meet the carbon neutrality goals that
4 we've all been talking about. So that's very, very
5 exciting.

6 And I also just wanted to note that I appreciate
7 the Commissioners and the CEC for having -- well, frankly,
8 as Lance said and many have said, this very critical
9 conversation around pathways to create carbon neutrality
10 in California, because we really have to get this right.
11 There's just too much at stake not to. And none of this,
12 as we have all talked about all day long, is easy. So
13 there is a lot of things to take into consideration. And
14 we have got to really avoid the unattended consequences.
15 And I know we all want to do that.

16 And the other thing is, as Lance said, I think
17 we all want and need to be part of the solution. And,
18 Wayne, I really appreciate your comments and emphasis on
19 reliability as part of the transition. And you and I
20 certainly are working on a lot of those challenges
21 together, so great to see you.

22 There are four points I really to talk about,
23 and if you would go to the first slide. And first I just
24 want everyone to recognize that our industry, our members,
25 we are invested in a shared energy future. And it's

California Reporting, LLC

(510) 313-0610

1 whether it's efficiency, whether it's conservation,
2 whether it's a drop in air emissions from methane and
3 flaring, whether it's through advanced technologies, or
4 collaborating with universities on new technologies to
5 reduce energy intensity, or frankly even lower emissions
6 in shipping fuels, we're involved in bioenergy and CCUS to
7 create carbon negative power in places like Mendota,
8 California. We've got companies using ag waste, biomass
9 into renewable synthetic gas to generate electricity.

10 We're looking at looking at generating carbon
11 neutrality load electricity in Bakersfield. These are all
12 things that our members are involved in. We're involved
13 in turbines and -- wind turbines in farms and, frankly,
14 doing a lot of R and D and testing and evaluating solar
15 technologies for low carbon electricity; and using --
16 excuse me -- geothermal for electricity as well. I'm
17 fighting a little cold.

18 But whether -- and the other big thing we're
19 doing is renewable diesel. Of course you are all aware of
20 the two traditional refineries in the Bay Area converting
21 to renewable diesel, Marathon and Phillips. And we're
22 also looking at renewable natural gas, hydrogen, algae
23 biofuels, and investing in next generation battery
24 technology.

25 And why do I tell you all of this? Is because

California Reporting, LLC

(510) 313-0610

1 we are in it all and we've been in transition, as I often
2 tell the media, since horse and buggy. It is really part
3 of our DNA. And I am going to be submitting too as part
4 of this conversation to the written comments a catalogue
5 of all these grant innovations and projects that our
6 members are currently doing and are underway so you can
7 see them very specifically, not just enough time to go
8 through them all here. Next slide.

9 The second point I want to make is the
10 importance of the definition of carbon neutrality, and
11 this is really, really important. So we've got to
12 consider defining it as net zero versus absolute zero
13 emissions, because net zero means you get to balance
14 emission sources with negative emissions or emissions
15 removal, like the IPCC goals to achieve, frankly, a
16 balance that is between anthropogenic emissions by sources
17 and removals by sinks of greenhouse gases. Both of those
18 are very, very important. And both the IEA and the IPCC
19 believe that carbon neutrality cannot be achieved without
20 leveraging these technologies that capture and/or remove
21 emissions. And that is why we are so much about CCUS,
22 right, it's so important in this conversation and why the
23 IPCC puts so much emphasis on it.

24 In the next slide we can see the CCUS in
25 numbers. I just spent all day yesterday listening to the

1 workshop that CARB held on CCUS and it was noted at that
2 workshop that we would have to increase CCUS tenfold to
3 reach our 2050 carbon neutrality targets. That's a big
4 number.

5 And another panel number I think noted that
6 CCUS, as a technology, could address up to 54 percent of
7 the global emissions. They talked about a couple of
8 different scenarios and one was that CCUS capacity
9 requires 52 times the growth to meet our 2050 goals. And
10 even the IPCC scenario noted 193 percent increase would be
11 needed. So all that being said, we've got to have CCUS to
12 meet our carbon neutrality goals. And it doesn't matter
13 if you're reducing emissions from sources or you're
14 removing emissions from the atmosphere, I think everybody
15 knows that CCUS is going to be a major, major, major focus
16 and central theme of the international conversation at COP
17 this year. And we will be attending this year as we did
18 at COP 25, so very exciting that that conversation will
19 continue and that the U.S. and California will be
20 rejoining. Slide 4, please.

21 The third point is how to get to a carbon
22 neutrality economy through pathways of successful CCUS.
23 And some approaches, frankly, are better from a cost-
24 benefit perspective than others. There are some low-
25 hanging fruit that we should consider pursuing and

1 encouraging. And just like Cap and Trade, which we did
2 support, the aggressive movement on the Cap and Trade
3 program, we put an economy-wide cap on carbon and then we
4 allowed the market to identify the low-hanging fruit. And
5 we've got to do the same here. We should consider looking
6 at addressing this economy wide and on the broadest
7 geographical terms practical, while, as you've heard from
8 many of the panelists, we incentivize the most cost-
9 effective emission reductions.

10 And there are other panel members who talked
11 about the Low Carbon Fuel Standard, talked about its
12 relationship to innovative crude and the refinery
13 investment credits, would I won't duplicate that, but it
14 is why it is important that in our opinion we consider an
15 all-of-the-above energy strategy to achieve these very
16 aggressive goals so we're able to sustain them over time
17 and we can respect consumer choice and affordability.

18 I just was reading a Pew Research Center pole
19 that was concluded in April and they found that Americans
20 favor using a mix of energy sources to meet demand. And
21 it's not an either/or scenario as innovations in the
22 private sector have shown all day long in all the
23 conversations we've been having.

24 So options lend themselves to cost-effective
25 choices. And many of the poles point to affordability as

1 the number one issue. So let's continue to explore a
2 diversified energy portfolio as many previous IEPRs have
3 done. I don't know how many IEPRs I have been through in
4 my career now, but definitely more than on my two hands.
5 So we need a diversified portfolio and certainly one that
6 includes electricity but much, much more.

7 And I don't think I need, I think, point out the
8 few examples that we've recently seen, whether it's the
9 ice storms in the Texas power grid, impacts on all energy
10 sources, the cyber security attack on the Colonial
11 Pipeline, Governor Newsom having to do an emergency
12 proclamation down in Wayne's neck of the woods where we
13 had to have marine vessels who could not plug into shore
14 power because of the issues with the grid. And so we've
15 got to have a plan that we can function in a modern
16 society. And, again, I think we can achieve this by not
17 limiting consumer choice or optionality.

18 And then the last slide just ties it all
19 together as the importance, from our belief and many of
20 the speakers of an all-of-the-above strategic, because we
21 really believe the future of all of our success, as we do
22 this together, hinges on accepting that. And we should
23 include all low carbon fuels, renewable diesel, renewable
24 natural gas, hydrogen transportation fuels. We should
25 include renewable diesel and renewable jet fuel. We

1 should include low carbon ethanol. And certainly in
2 addition to electricity-driven solutions, I've got members
3 in all of it, including electricity.

4 I was very excited to see Southwest Airlines do
5 a press release to advance sustainable aviation fuel, SAF,
6 through two new energy partners that happen to be my
7 members, Marathon and Phillips 66, so that was very --
8 pretty cool.

9 So in closing, and I know we'll do a lot more in
10 the roundtable, but I just want to point out that really
11 from our perspective the way to get to a sustainable
12 carbon neutrality is to really certainly keep those
13 aspirational goals but please do not ignore the technical
14 realities that many have talked about today or the low
15 carbon solutions that are on the table today, because we
16 will need them all to get there. So thank you very much,
17 look forward to the conversation and appreciate you having
18 us.

19 DR. KISSOCK: Well, thank you, Catherine, and
20 thank you for sharing some of the great investments in low
21 carbon fuels and the portfolio approach that your
22 organization advocates.

23 At this time I would like to turn it back over
24 to Commissioners McAllister and Monahan for follow-up
25 questions.

1 COMMISSIONER MCALLISTER: Thank you, Kelly,
2 really appreciate your moderation. And actually I would
3 invite you to ask questions that you may have as well as,
4 as an expert in this field. I think that could be very
5 helpful. Not to put you on the spot, but I think, you
6 know, your expertise is also in the room and we'd like to
7 take advantage of that here.

8 I will just ask one question, mostly for Wayne
9 Nastri. So thanks for being here. I'm really glad you're
10 on this panel. I think that complements the others very
11 well.

12 And I'm curious, you mentioned sort of, you
13 know, we need to pool resources. And if we -- I totally
14 agree with you, the infrastructure funding and any other
15 general funding coming out through the State could help
16 move the ball forward here. I guess in terms of the Clean
17 Air Act authority, the noncompliance sort of requirements,
18 and the authority that unlocks for the State, is there in
19 that expectation that that -- that there is some access?
20 You know, I think we all recognize that it's really
21 difficult to get into kind of loads and compliance in
22 California, just given all the -- sort of the missions and
23 you have very few places to go to get additional NOX
24 emissions -- production, as you pointed out. So is there
25 a pathway to sort of get some resources to -- federal

California Reporting, LLC

(510) 313-0610

1 resources to that to help us comply or is it really more
2 of a stick approach?

3 MR. NASTRI: No, there is a pathway. I think
4 they really focus on a few things. One is federal action.
5 When we look at the NOX sources and, as I mentioned before
6 80 percent come from heavy-duty trucks, and it's those
7 out-of-state trucks. California has really been in a
8 leadership position when it comes to developing clean
9 truck and bus standards, but the fact of the matter is,
10 you know, in Southern California we have the gateway to
11 the nation from a goods movement perspective. Nearly
12 every Congressional district can trace something back to
13 our port. So while we share the burden of the ocean-going
14 vessels and the trucks and all the related sources
15 associated with goods movement, we don't get a pertinent
16 investment in that clean technology.

17 And so there is really a twofold approach that
18 we're pursuing in D.C. right now. One is the Heavy-Duty
19 Truck Standard hasn't been revised in 20 years. And so
20 the federal government has to move on that. We are
21 engaged with a number of air agencies throughout the
22 United States through the National Association of Cleaner
23 Agencies, as well as other groups that is, in essence,
24 putting pressure on the administration to fulfill its goal
25 to develop and to get that Heavy-Duty Truck Standard out,

California Reporting, LLC

(510) 313-0610

1 at least a draft by this year and finalized by next year.

2 You may say, wow, that's really fast, but the
3 fact of the matter is we had actually put in a request in
4 the Obama Administration. At the very end, you know they
5 said they would get to it but they really couldn't commit
6 the administration. The administration after that and the
7 administration after that really didn't get much done.
8 So, you know, we're behind the eight ball on trucks, but
9 we also have locomotives, we have planes, and you have
10 ocean-going vessels.

11 Ocean-going vessels and the ports is going to be
12 the largest source of NOX emissions for us. And, again,
13 it's a very limited area where we have authority, so it's
14 up to the federal government. So really pushing the
15 federal government to exercise its authority not only here
16 in the United States but also, for instance, through the
17 IMO, the International Maritime Organization, and other
18 bodies, especially when it comes to planes and aspects.
19 They're so important.

20 So it's the regulatory approach, but there is
21 also the incentive approach. Because, as I had said
22 earlier, we can't regulate, right, when you look at at
23 least a four-year delay from when you can set a standard
24 and when you will actually see that technology deployed.
25 That's why I say at 2023 it's going to be almost

1 impossible to meet the attainment date, and 2031 is going
2 to be hard-pressed. So we have got to deploy technologies
3 that are proven.

4 We know that we can see a 90-percent cleaner
5 natural gas vehicles in an interim process. So if we can
6 get a 90-percent cleaner vehicle out today, we would much
7 rather do that, because if someone is not getting a
8 cleaner vehicle and if they can't get a heavy-duty
9 electric truck in the timeframe that they need, they're
10 going to go to diesel. And that's going to continue to
11 exacerbate the problem that we have.

12 So we're trying to make sure that there is no
13 more diesel building. And so from the federal government
14 side, we want to see incentives, for instance on the
15 excise tax. You know waive that for zero-emission heavy-
16 duty trucks or near-zero heavy-duty trucks. Invest in the
17 infrastructure.

18 You know in the emergency proclamation the
19 governor issued, they talked about a 2500-megawatt
20 shortage for this year, a 5,000-megawatt shortage for the
21 next year. The impact that these battery-electric heavy-
22 duty trucks are going to have on the grid can't be
23 overstated, in our view. And so that's where I talked
24 about the reliability, because if the grids go down and
25 we're losing reliable clean power to dirty backup diesel

1 generators, it's going to be even more difficult. And
2 then that goes to those local communities.

3 So to your point, send letters to Congress, send
4 letters to the administration. We've got to have those
5 investments in those clean technologies. And it's really
6 incumbent on the federal government to step up it's role
7 and responsibility in us meeting those obligations.

8 COMMISSIONER MCALLISTER: Thanks. Thanks, I
9 appreciate that. You sort of answered, by the way, a
10 question that's in the Q&A right now from a listener, so
11 appreciate that.

12 And I would just offer, you know, NACAA and
13 NASEO, the National Association of State Energy Officials,
14 and NARUC, obviously the Regulatory Utility Commissioners,
15 I think could be outlined in this. Certainly NASEO, I'm
16 assuming -- I can't speak for NASEO itself, but as a
17 member and an officer, I think, anyway, that we can
18 collaborate on that federal discussion across states, you
19 know across coastal states, for example, with the ports, I
20 think could be in the offing, so I would follow up on
21 that.

22 MR. NASTRI: Yeah, that's great.

23 COMMISSIONER MCALLISTER: Yeah. I wanted to --
24 lots of great stuff. I guess, and just I heard from I
25 think all of you that reliability really is job one, and I

1 completely agree. I think, you know, obviously we're
2 pitching a lot of pressure this summer, but if we don't
3 get the reliability piece of it right, then that's going
4 to take a lot of tools out of our toolbox and we just
5 can't afford that. And so I think we all are in agreement
6 on that.

7 Commissioner Monahan, did you want to have --
8 did you have any questions for our panelists?

9 COMMISSIONER MONAHAN: Well, maybe a comment and
10 a question. But I really appreciated what Lance and Nora
11 were saying about the need for -- you know, these are big
12 energy -- for big energy-intensive industries, they are
13 very mindful of the cost of energy. And yet at the same
14 time what we're hearing at least from U.S. EPA is that
15 energy efficiency remains sort of the low-hanging fruit in
16 terms of opportunities in the industrial sector.

17 And I wonder if you could share with us, well,
18 first, any observations that you have about barriers to
19 increased energy efficiency in the industrial sector. And
20 then, second, maybe to what Cathy Reheis -- Catherine
21 Reheis -- Cathy -- call her Cathy, we're thinking about
22 the role of CCUS and how you're seeing carbon capture
23 playing into strategies for reducing carbon.

24 MS. REHEIS-BOYD: Yeah, and I certainly can just
25 comment on the -- I mean when we look at the refining

1 side, and I think, Commissioner, you asked a few of these
2 questions on an earlier panel, but CCUS on hydrogen plants
3 and using renewable natural gas in the plant can actually
4 deliver a negative CI. So that's one area that we're
5 really looking at. And, again, if we do some kind of
6 interagency stakeholder group that we talked about in
7 previous panels, I think all of these things we should
8 dive into deeper to see, you know, if these are things we
9 should be doing, how do we go about doing them.

10 I think the other thing we've looked at is
11 renewable propane that comes from the renewable diesel
12 production process as an opportunity. You can also use
13 renewable natural gas in heaters, you can look at things
14 like electrification of steam turbine drivers.

15 There is also a thought of coprocessing of other
16 non-bio feedstocks like Fullerton, which converts
17 municipal solid waste into a synthetic feedstock. So
18 there's just so many things that for our sector we're
19 looking at. And I think in that kind of a forum with the
20 Energy Commission and others, we could really begin to
21 rank those and is the which ones are the most cost-
22 effective to pursue and which ones give us the biggest
23 bang for the buck, as we look at the industrial
24 decarbonization.

25 COMMISSIONER MCALLISTER: May I ask a follow-up

1 question on that? I really appreciated at the COP
2 actually we had some interesting meetings around CCUS and
3 I think there are other jurisdictions are ahead of us on
4 that, it's pretty evident. But I always -- you know, when
5 there is a complex picture in front of us, you know,
6 sometimes it's useful to figure -- count the molecules, go
7 back to first principles, how many molecules and where are
8 they going, and we sort of track those, I guess. And
9 there is a concern about lock -- like in the nearterm if
10 we invest major capital into a pathway that ends up being
11 hard to decarbonize because maybe we don't have all of the
12 pieces of the puzzle in place in the nearterm, you know,
13 then that's not obviously an optimal path.

14 I wonder in terms of identifying the sort of --
15 you know, derisking as much as possible or sort of
16 precautionary principle type approaches, you know, what
17 are your thoughts about the conversation, what that
18 conversation could look like in terms of, okay, we know
19 we're going to need -- to pit away from fossil molecules,
20 and mostly and then the ones that are left over are going
21 to have to have some sink, I'd be interested in people's
22 views about what that conversation could look like,
23 essentially having an out-of-state planning conversation.

24 MS. REHEIS-BOYD: And, Commissioner, that was
25 mostly with CCUS in particular or more broadly?

1 COMMISSIONER MCALLISTER: Yeah. I mean I think,
2 you know, opinions differ widely on that issue. And I
3 want to -- you know, I'm kind of inviting a little bit of
4 strategy thinking about how to pull that conversation
5 together.

6 MS. REHEIS-BOYD: I mean I can jump in and
7 certainly others can as well, but I think it's a super
8 important one to your point because we know from Lawrence
9 Livermore and from the Air Resources Board that even if we
10 do everything that's in the scoping plan, without CCUS we
11 can't get there.

12 I mean so -- so when you go in with that, it's
13 like, okay, it's not as if we have a choice as far as
14 we've got to figure out a way to do it in the state. And
15 we've got to figure out a way to have a good conversation
16 with the environmental justice community who, frankly, is
17 very opposed to even the conversation. And that's
18 probably on both sides, we haven't done a good job of
19 communicating what it means, what it is, what it isn't,
20 you know, all of those frustrations that come from all of
21 us not speaking over each other instead of with each
22 other, right? And so I think it's challenging for sure,
23 but it is essential as we figure out how to meet these
24 goals.

25 And I think it's been unfairly portrayed as a

1 way to, you know, continue fossil fuels when there is so
2 much more that is really associated with carbon
3 sequestration and storage and utilization. It's the whole
4 picture that I think we need to demystify for that
5 conversation to proceed. So I am worried about the
6 conversation.

7 I sat through the whole day on it with CARB and
8 there was a lot of opposition from our environmental
9 justice friends. And I think it behooves us to figure out
10 what that opposition is about and how can we work together
11 to demystify it and really put on the table how important
12 it is for the state to meet these goals.

13 MS. SHERIFF: I would like to second exactly
14 what Cathy -- what Cathy just said. The carbon capture,
15 utilization, and storage, sequestration, it has to be
16 done. And I think having an interagency/industry/EJ sort
17 of working group start up sooner rather than later to have
18 a clear, frank conversation about it will help us get
19 there, but we have to get there. We have to have that
20 onboard. It's important for the refining sector, for the
21 oil and gas production sector, for the chemical sector,
22 for the cement sector, across industry it's critical.

23 MS. REHEIS-BOYD: And, Nora, to your point, I
24 mean even as certainly all the Commissioners know, even
25 with the Governor's Executive Order that stops the sale of

1 internal combustion engines by 2035, in 2035, as Wayne
2 knows, we're still going to have a boatload of them,
3 right? And so it's not like we can figure out -- we can
4 stop fueling them for the short and midterm as we
5 transition to something else. And so, you know, why
6 wouldn't we do that in a way we can decarbonize? But if
7 not, I mean -- and, you know, to Wayne's point, we're
8 leaving a lot of emission reductions on the table for the
9 very cements that we should be doing them because we're
10 leap-frogging over everything with a focus on a single
11 technology. It's a great technology. We're investing in
12 it, but we have got -- we have got to diversify along the
13 way if we're going to get there and have those realistic
14 conversations that at least in the nearterm we've still
15 got a lot of cars and trucks to fuel in the most carbon --
16 decarbonized way possible. And that's just not going to
17 just be electricity in the nearterm.

18 MS. SHERIFF: And renewable natural gas is huge
19 with the negative carbon intensity, depending on the
20 feedstock for the RNG is huge, so.

21 MS. REHEIS-BOYD: Yeah.

22 COMMISSIONER MCALLISTER: Yeah.

23 DR. KISSOCK: Folks, I think we have one minute
24 left, and I think Commissioner Monahan asked a great
25 question to Lance and he didn't quite get a chance to

1 answer, but she asked about leaving -- you know, about
2 some of the energy efficiency that's still left on the
3 table.

4 And I was wondering if you could just share your
5 -- your ideas, Lance?

6 MR. HASTINGS: Yeah, I'll kind of begin where I
7 began. People don't sleep at night worrying about lose of
8 energy at a facility. I mean literally that is their job.
9 And the larger the manufacturing facility, the more likely
10 that you have a person or persons or a department focused
11 on it.

12 The smaller operations is where the opportunity
13 might be, and those are the ones that, you know I hate to
14 say it, might be most disconnected from this process
15 because they're trying to keep their doors open, the
16 lights on, and people paid. And that's where the
17 incentive might be the best place to identify -- I heard
18 that compressed air situation today, which is kind of
19 ancillary. It's interesting because it's energy that's
20 necessary to keep those compressors going, that if there
21 is a leak the compressor needs to run more often. So if
22 it's the air that's leaking, then they're wasting some
23 energy. So I think areas there.

24 But in terms of the big bucket, I'm not sure
25 you're going to find what you're looking for in those

1 spaces. It's the larger users, the larger manufacturers
2 that are truly -- they are measured by their efficiency of
3 input and output. And I did bristle a little bit this
4 morning when I heard that initially. I'm not here to
5 refute the data, but it's not as prevalent as we would
6 think. Because that's the equivalent of leaving your
7 house with the hose on your lawn all day and then getting
8 home and realize, oh, I left my water on all day. That
9 just doesn't happen. So, you know, having said that,
10 let's find a way. If there is a low-hanging fruit that
11 needs to be plucked from the smaller manufacturers, let's
12 go after that, but it's not as prevalent I don't think as
13 was mentioned.

14 MS. SHERIFF: And if I could just add to what
15 Lance was saying, exactly the low-hanging fruit has been
16 picked, but I'm also going to channel Steve Coppinger,
17 who's still on -- and, Steve, please, please add to
18 anything that you might need to -- but California used to
19 set the gold standard in terms of its energy efficiency
20 programs for industrial customers, and we have lost our
21 way on that. The process at the Public Utilities
22 Commission for custom projects is torturous. They, you
23 know, used to change the goal post after you had submitted
24 an application, committed the company's funds, and it is -
25 - that has been a significant barrier in addition to the

California Reporting, LLC

(510) 313-0610

1 costs. And my hope is that with this new industrial
2 decarbonization we can look to some of those big bang for
3 the buck energy efficiency improvements that really do
4 cost a lot of money but you really do see some significant
5 efficiency gains.

6 And, Steve, if you have any specifics you'd like
7 to add there, you're the one who went through it.

8 MR. COPPINGER: No, I think it has become much
9 more of a challenge right now to get any kind of funding
10 for energy efficiency. And if something has been done
11 before within the industry, for example, that no longer
12 applies for an energy efficiency incentive. So to me, if
13 you want to reduce energy -- or improve energy efficiency,
14 you want to do it across the board regardless of whether
15 it's been done before. And it's right now challenging I
16 think for large industrials to qualify.

17 And, as Nora said, I think California had the
18 gold standard of energy efficiency programs several years
19 ago, where I know that we took advantage of a lot of the
20 programs. And the incentives put us over the edge of
21 being able to do some of these projects, so.

22 COMMISSIONER MCALLISTER: So thanks a lot for
23 that. And, Kelly, I think we do have some time. We don't
24 have any open questions from the public, so we do have a
25 little while longer.

1 And I wanted to just thank, just sort of
2 acknowledge those comments. And I think, you know, there
3 is an interesting conversation started -- starting that is
4 really looking in the context of electricity rates, to
5 sort of figure out maybe if there is a different way to
6 slice and dice the program funding pie and maybe not count
7 on the sort of efficiency portfolio, as it historically
8 has been conceived, and actually move off of the rates and
9 sort of find other sources of funding. And I think, in
10 particular, it may revise and some of the conversations
11 sort of reflect that drift or that -- that change in
12 direction.

13 And we haven't mentioned the money, the funding
14 that may be coming to the Commission for hydrogen work,
15 that is the State from industrial. So both of those are
16 relatively important pots that may be coming for
17 programmatic initiatives that do I think help, that would
18 be relatively flexible compared to the programs that
19 you're used to. So, in any case, those discussions are
20 TBD, but I think they do have some hope.

21 I wanted also to ask about -- so another thing
22 that's happening is that the demand response program
23 environment in the State is having a rethink. And so the
24 Public Utilities Commission has asked the Energy
25 Commission to do some work in that regard. You know we

California Reporting, LLC

(510) 313-0610

1 have a lot of tools around load flexibility that we're
2 funding research about and then also working with
3 stakeholders out there.

4 Certainly the cold storage has a lot of load
5 flexible potential, compressors possibly, a lot of
6 variable loads out there. We talked about some of that in
7 the previous panel.

8 I guess I'm wondering -- and, again, you should
9 feel free to talk about the issues that you face in
10 participating in some of these programs. But, you know,
11 also I'd ask you try to keep it sort of solutions
12 oriented, like what would make them work better if you do
13 have challenges participating, but demand response, in
14 particular, I know CLECA has a long history of
15 participating in demand response. And some of the large
16 loads really are key to enabling demand response at some
17 scale that can help move in and deal when we -- on those
18 days when we really need it but perhaps even as a more
19 routine matter and with some automation. So I wanted to
20 just -- I guess mostly this is directed towards Nora, but
21 anybody should feel free to answer.

22 MS. SHERIFF: So, Commissioner McAllister, your
23 point about maybe there's something that can be done on
24 ongoing basis, that gets exactly to what I wanted to say
25 when you say and demand response, let's talk about demand

1 response. There used to be a program called the Demand
2 Bidding Program that was an ongoing whatever you can bid
3 in, day ahead -- sorry -- yeah, day ahead, so for the next
4 day whatever you're -- you know, where you were in your
5 production cycle, how much load could you bid in and say,
6 'If you need it, this is what I can draw,' not the 'All
7 hands on deck, it is an emergency, drop your entire load'
8 or 'as much of your load as you possibly can very
9 quickly,' which is the basic drop your program, the
10 reliability demand response that we need in these extreme
11 heat events.

12 But that ongoing 'What's your economic amount
13 that you can bid in' day after day after day has been gone
14 and not an option since 2015 for PG&E, since 2016 for
15 Southern California Edison. It was extended a year for
16 Edison because of the Aliso Canyon Natural Gas Storage
17 Field not being there, and they saw that as an important
18 tool to maintain flexible operations. There has not been
19 a replacement program for that ongoing economic demand
20 response that could be available from industry for years.
21 And we have been -- CLECA has been asking for it, has been
22 suggesting pilot programs be instituted, etc. And we have
23 not seen anything.

24 So I think, yes, the importance of the
25 reliability demand response in an emergency is known and

1 it's critical that we maintain that program, but we also
2 need an ongoing what can you do on a day-ahead basis, you
3 know, depending where you are in your manufacturing cycle
4 to help manage the grid every day, and that I think is a
5 clear failure that we've been seeing for the past several
6 years, that we still don't have a replacement for that
7 program.

8 COMMISSIONER MCALLISTER: You mentioned the need
9 for relatively capital intensive projects to move the
10 efficiency needle. Could you get into a little bit more -
11 -

12 MS. SHERIFF: So like to put -- new boilers
13 could be like \$5 million per site. Efficient air
14 compressors could be up to a million dollars per site. If
15 you're looking at changing your -- your process, that can
16 run into the millions, doing that deep dive into your
17 process and what process changes you would need to see.
18 So it -- I think we need to move beyond lighting, right?

19 COMMISSIONER MCALLISTER: Yeah, oh, absolutely.
20 So, yeah, you referred to those in your comments, would --

21 MS. SHERIFF: Yeah.

22 COMMISSIONER MCALLISTER: -- I wasn't -- I
23 wasn't quite connecting those dots, so thank you for that.

24 MS. SHERIFF: Yeah.

25 COMMISSIONER MCALLISTER: And anybody else want

1 to chime in on sort of what -- great, Lance, go for it.

2 MR. HASTINGS: Yeah. If I could, and I don't
3 mean to be purposely provocative, but we claim to be the
4 fifth largest economy in the world trying to find our way
5 to be the sixth and a lot of that is because of the
6 infrastructure that we have is not fit for purpose or
7 suitable for today, let alone tomorrow. And that -- and,
8 you know, I came to this role from -- I've been in
9 California most of my career, but I was on the East Coast
10 for a time. And the headline right after I accepted this
11 job was announcing a PSPS event, and it was based on wind
12 in the foothills. And I shook my head, you know, what's
13 happening to my California that I knew. And if we have an
14 infrastructure that is not able to accommodate just our
15 daily needs, it's really challenging.

16 It's nice that we have programs, it's nice the
17 Governor announced that -- a plan last week, on Friday,
18 you know, to see us through, but that's a band-aid being
19 put on a hemorrhage. And we really have to have a much
20 more serious discussion about infrastructure, because, I
21 know this panel is focused on the air quality and carbon
22 in the future, but it is all of that all at once, and we
23 can't have these one-off conversations. So if we don't
24 have a reliable let alone affordable -- affordability
25 might be a separate, later discussion -- we need a

1 reliable network of energy in this state so that we can do
2 what we do. And that is a lacking and important cog
3 really in the economic wheel.

4 And I would have felt bad if I didn't say that
5 today. We got the opening right there, and I just had to
6 mention it. We've got to look at all of these issues
7 because they are all interrelated. You know if we're
8 going to be the largest economy in the U.S. and globally
9 at number five, we have to back that up with just not
10 looking at the GDP numbers. And there is inherent within
11 that an infrastructure sense that really needs to be
12 addressed.

13 COMMISSIONER MCALLISTER: Thank you.

14 MR. HASTINGS: Sorry.

15 COMMISSIONER MCALLISTER: Appreciate that -- no,
16 not at all.

17 And unfortunately Commissioner Monahan had to
18 drop. She's having audio issues, so maybe she will
19 reappear.

20 Professor Kissock, did you have any, do you know
21 or do you have any gaps --

22 DR. KISSOCK: Yeah.

23 COMMISSIONER MCALLISTER: -- that you want to
24 address or questions you want to ask our panel?

25 DR. KISSOCK: Yeah, I'd just like to follow up

1 on the direction of the conversation because it's so
2 intriguing. But, you know, Wayne and Nora and Lance, you
3 know, you've all brought up reliability issues, and I
4 think others also, so that's, you know, certainly core. I
5 think when Commissioner McAllister said we're going to
6 start there and go forward, but a lot of times, the way I
7 see it, is that -- is that things really move forward when
8 you hit two birds with one stone.

9 And, Nora, you brought up the Load Bidding
10 Program and, essentially, if we can look at industrial
11 electrical demand, not just in terms of an emergency
12 event, okay, but load shaping, there is enormous potential
13 as more and more renewables come into the grid to also
14 reduce the carbon intensity of the grid. If we can load
15 shape industrial processes to use energy when we're
16 generating a lot of renewable resources, so, you know, and
17 as we do that, we also help the reliability problem.

18 So I guess my question to any of the industrial
19 folks out is what do you think the potential for load
20 shaping is, for really pushing demand around to both
21 improve reliability and to reduce CO2 emissions?

22 MS. SHERIFF: Well, I will take a stab at that.
23 I think from an industrial site, it's going to depend on
24 where they are in their manufacturing cycle and their
25 commitment to their customers and their economic supply,

1 so it's going to vary. But the Demand Bidding Program
2 had, you know, over a hundred -- well over a hundred
3 megawatts participating in it on a regular basis, sort of
4 day in/day out, day in/day out. And I think that could
5 only, you know, grow and be a higher number.

6 I think there are some complications when you
7 look at other industrial sites where you might have
8 multiple meters and how do you disaggregate the loads
9 because you don't want to go in and meter every single
10 load. You need to have a more elegant solution than just
11 slapping on meters. That's pretty costly to use meter
12 after meter after meter. Also in some sites it's not
13 physically possible to install a meter on a certain load.

14 But I think there really needs to be -- there
15 definitely needs to be some really clear thinking about
16 what we can do with industrial demand response, economic
17 demand response, that ongoing demand response that's not
18 emergency DR. There has been a lot of focus on the
19 residential sector with the smart thermostats, etc. And
20 I'm not saying that's not a good thing, but I think it's
21 been short-sighted to not have a similar focus on the
22 industrial side.

23 And the working group that's been stood up,
24 Commissioner McAllister, I think is, you know, the short
25 term nature but it's looking at a product, a report by

California Reporting, LLC

(510) 313-0610

1 March of 2022 on counting methodologies, it's not broad
2 enough to encompass this -- you know, this concept of an
3 economic DR program and how that would -- how that would
4 work.

5 DR. KISSOCK: Yeah. You know, thanks, Nora.
6 You know, it occurs to me that again the Load Bidding
7 Program, that kind of stuff, but perhaps we could get
8 broader participation with some sort of realtime pricing,
9 you know more realtime pricing rates, which just
10 incentivize people to move away from the high price times,
11 which are also the high CO2 times.

12 What do you think the appetite is for realtime
13 pricing in industry?

14 MR. HASTINGS: I will start there real quick and
15 just say many of our operations are 24/7 and we don't have
16 that luxury or that option to move things into the evening
17 when the power might be a little bit less expensive. And
18 it just seems that would be the challenge for 24/7 for
19 efficiencies, so that's the ultimate irony, right? You're
20 here at your most efficient, but the energy quotient isn't
21 keeping up with that efficiency because of the pricing,
22 the way they work.

23 DR. KISSOCK: Yeah, I understand that. And I
24 understand that's a constraint for 24/7. But, you know,
25 as we know, a lot of places aren't 24/7. And there's also

1 various forms of industrial capacitance, that there's work
2 around. You know, there is work in storage and
3 Commissioner McAllister talked about some of the thermal
4 energy storage opportunities in cold storage warehouses
5 and things like this. So, you know, I think there are
6 workarounds.

7 Lance, you know, you -- if I may ask just one
8 more question, really a follow-up to what Commissioner
9 McAllister asked, and that was that when we talked about
10 energy efficiency not being funded and when you go back
11 and you work in this industry or you read the Department
12 of Energy reports, they say, you know, what are the
13 barriers, and number one is financial. And you say, well,
14 what's the biggest barrier in financial, and they say it's
15 a competition for internal capital. And that maps what
16 I've seen too. Earlier we saw people talk about, well,
17 there are these energy efficiency opportunities, but only
18 these got funded.

19 And really it's this, in many case, it's this
20 competition for internal capital. So I'm wondering, you
21 know, to you or anyone else if there are policies that
22 could be developed to help unstick that, because I think
23 that is where a lot of this gets stuck. You know, you --
24 Lance, you keep talking -- not keep talking, but you
25 mentioned how on the floor people are really trying to do

1 things, but oftentimes the place we lose is in the
2 decisionmaking process about what gets invested in next.
3 Your thoughts on that.

4 MR. HASTINGS: Maybe we could pivot the debate
5 and say let's look at the high-hanging, the things that
6 are way up there that really would drive the debate. So
7 if there is an internal discussion, that things are on the
8 table to make it the most efficient which is the hardest
9 increment to get, that might be a good place to start.
10 Might be, I guess, fewer in number but greater in outcome,
11 if we do that, because the, you know, the high-hanging
12 versus low-hanging fruit, it's a cliché, but that might be
13 where a lot of the resource might be made available.

14 I just don't know what those high-hanging fruit
15 are. It could be different in every operation or there
16 could be something that's just unattainable without any
17 support for --

18 COMMISSIONER MCALLISTER: Can I ask -- can I ask
19 along these lines: Is there any traction, what's sort of
20 the off-balance sheet approach for getting private capital
21 at a longer -- kind of a longer return horizon into, you
22 know, a relatively large process-related investment in an
23 industry? And what do your members say, Nora or Lance?

24 MS. SHERIFF: I would have to ask Steve
25 Coppinger if he --

1 DR. KISSOCK: Okay, the same thing.

2 MS. SHERIFF: I haven't -- yeah, I haven't had
3 any recent conversations with the CLECA members on that.
4 I know we talked with Edison a couple years ago when they
5 suggested their -- their approach. And I forget, I think
6 it was Derek mentioned, they didn't have any takers on
7 that.

8 Steve, do you want to offer anything on that
9 off-balance sheet approach?

10 MR. COPPINGER: Well, one thing that helps is
11 certainty and a lot of times when you're planning these
12 larger process projects, it takes years. Not only
13 permitting, but it's years of engineering, planning, and
14 so it helps to have some sort of certainty on the funding
15 and knowing that it will be available, you know, when it
16 comes time to execute the projects. But that's basically
17 what I would say at this point, that it's a challenge.

18 COMMISSIONER MCALLISTER: So is that a topic
19 that's worth keeping sort of on the agenda for any
20 convening we might be going forward, do you think, or not
21 really?

22 MR. COPPINGER: I think it is worth talking and
23 I think any time you have opportunities to incentivize
24 people, to take their extra step to do the efficiency
25 projects, yes.

1 COMMISSIONER MCALLISTER: Okay. All right,
2 well, great. Well, I promised Heather that I would wrap
3 it up about three minutes ago. So I think we do have a
4 little bit of space for public comment and I want to give
5 a few minutes for that to take place. I'm not sure how
6 much we have, when we're going to have any public comment,
7 but we want to create some opening for that.

8 So I want to just really say thank you to all
9 the -- for the panel. It's -- this has been a great
10 session. And to you and all the panelists previously
11 today, thanks a lot for your expertise and knowledge and
12 participation here. I'm really optimistic that we have a
13 great platform with the prospect for programs that really
14 move the needle going forward. And it's a little bit --
15 feels a little bit like a new day, especially with the
16 urgency around the needs of the -- of our energy sectors
17 broadly, but particularly our electric sector. I think
18 there is an opening to really have this conversation in
19 earnest and hopefully we can take advantage of it, so. So
20 thanks again, everyone. Appreciate your being here.

21 MS. SHERIFF: Thank you.

22 * COMMISSIONER MCALLISTER: So let's pass it off.
23 Is Dorothy here? Is it Denise?

24 MS. RAITT: Yeah, Dorothy. This is --

25 COMMISSIONER MCALLISTER: Hey, Dorothy.

1 MS. RAITT: Dorothy is here to do the public
2 comment.

3 COMMISSIONER MCALLISTER: Great to have Dorothy.

4 MS. RAITT: Thank you again to our panelists as
5 we move on to the public comment period.

6 COMMISSIONER MCALLISTER: Thanks, Heather.

7 MS. MURIMI: Thank you, Commissioner McAllister.
8 Thank you, Heather.

9 So starting off with just some instructions for
10 everybody. One person per organization may comment. And
11 then comments are limited to three minutes per speaker. I
12 will start with folks on Zoom. If you are on Zoom, use
13 the raised hand feature, and it looks like a high five.
14 And if you're calling in on the phone, if you dial star 9
15 to raise your hand and then unmute on your end, you unmute
16 by pressing star 6 -- apologies.

17 So we will start with folks that are on Zoom. I
18 see Hugo Mejia. And apologies if I have misstated your
19 name. You may now begin your comment. State your name.
20 Go ahead, Hugo.

21 MR. MEJIA: Just want to make sure you can hear
22 me.

23 MS. MURIMI: Yes, we can, Hugo. Thank you.

24 MR. MEJIA: Oh, yes. Thank you. First of all,
25 I want to thank the Commissioners, staff, and really the

1 speakers this afternoon, so thank you very much.

2 My name's Hugo Mejia. I am the Engineering
3 Hydrogen Manager for Southern California Gas Company.

4 Just my statement here: According to the
5 Governor's Office of Business and Economic Development,
6 California leads the nation in economic output from
7 manufacturing and is a home to over 35,000 firms employing
8 1.3 million people. Despite advancements made in and
9 marked in segments, industrial sectors such as thermal
10 load-dependent processes in manufacturing have yet to see
11 energy options that can help them transition to a
12 decarbonized future.

13 According to a 2021 report by Brookings
14 Institute, heavy industry sectors like steel, cement, and
15 chemical manufacturing are among the most difficult to
16 decarbonize because of high-heat needs and economic
17 hurdles like low profit margins, capital intensity, long
18 equipment life, and swings in international trade.

19 Funding a project of an isolated steel
20 transmission pipeline with hydrogen blend to a heavy end-
21 user, like manufacturing, would provide the California
22 Energy Commission with valuable data on both pipeline and
23 end-use equipment in sectors crucial to California's
24 economic competitiveness.

25 Thank you.

California Reporting, LLC

(510) 313-0610

1 MS. MURIMI: Thank you, Hugo.

2 Let's I will check for hands again. Again, one
3 person per organization may comment. And if you're on
4 Zoom, use the raised hand feature, looks like a high five.
5 You could find that at the bottom of your screen. If
6 you're on the phone, press star 9 or star 9 to raise your
7 hand, and star 6 to unmute on your end.

8 We'll give that one more moment.

9 Seeing no other commenters, Heather or
10 Commissioner McAllister I will pass the mic back to you.

11 COMMISSIONER MCALLISTER: Thank you very much,
12 Dorothy.

13 Well, let's see, I would really invite people to
14 make written comments to the docket. And Heather, the
15 team can put up a slide for that.

16 I want to -- I won't try to summarize everything
17 that's been talked about today, but I know our after has
18 been taking great notes. There is a recording of this
19 session and there will be a transcript, I believe, and so
20 we really have a lot of material to work with. I want to
21 just thank all four of our groups of panelists and our
22 moderators for a really great day.

23 Again I do really feel like we're starting a
24 conversation that's going to have a big impact in our
25 state and giving this broad topic of industrial

1 decarbonization, I think, the gravitas that it deserves to
2 help that sector thrive as a fundamental part of our
3 economy in California and really appreciate it in all its
4 diversity and really segment and target not just the
5 biggest opportunities for decarbonization, but really the
6 places where we can establish partnerships that last. And
7 I think we are kind of at -- it feels like we're at a
8 little bit of an inflection point, so hopefully that is
9 the case. We have a lot of expertise in the state and we
10 have a lot of, I think, really proud California industries
11 that we can work with to move towards our collective
12 goals. And so lots of challenges.

13 You know we've heard about a number of barriers
14 today. We've heard about a number of success stories and
15 potential areas of improvement. So really all together
16 that gives us a lot of material and a lot of substance
17 that we can work with and hopefully shape in this IEPR to
18 help give us some strategic importance to it and then move
19 relatively expeditiously into forming programs that have
20 funding behind them to begin to chip away at this problem
21 and really target the highest-value solutions.

22 So it's going to take some resources, but -- and
23 I think we all acknowledge that through the course of the
24 day, but we are California, we do have an innovation
25 economy and we want to keep it that way. So I want to --

1 just again thanks, thanks to the IEPR staff and the
2 Division staff who really contributed to putting this
3 together. David and the rest of the crew.

4 So, again, I think that's it. Anything I
5 missed, Heather?

6 MS. RAITT: No. You did a great job. Thank
7 you.

8 COMMISSIONER MCALLISTER: Thank you very much.
9 And you too. The feeling's mutual, on the team again, and
10 looking forward to comments on August 17th, and to further
11 collaboration going forward. And I think that's it for
12 today. We are adjourned.

13 (Whereupon, the Workshop was adjourned at 4:28
14 o'clock p.m.)

15

16

17

18

19

20

21

22

23

24


25

REPORTER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 1st day of October, 2021.



PETER PETTY
CER**D-493
Notary Public

California Reporting, LLC


(510) 313-0610

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 1st day of October, 2021.



Susan Palmer
Certified
Reporter
CERT 00124

California Reporting, LLC

(510) 313-0610