

DOCKETED

Docket Number:	20-LITHIUM-01
Project Title:	Lithium Valley Commission
TN #:	240135
Document Title:	Transcript for 9-30-21 Lithium Valley Commission Meeting
Description:	Transcript of Lithium Valley Commission meeting held on September 30, 2021.
Filer:	Elisabeth de Jong
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	10/21/2021 3:03:42 PM
Docketed Date:	10/21/2021

BEFORE THE CALIFORNIA ENERGY COMMISSION

In the Matter of:)
)
)
the LITHIUM VALLEY COMMISSION) Docket No. 20-LITHIUM-01
_____)

LITHIUM VALLEY
COMMISSION MEETING
REMOTE ACCESS ONLY

THURSDAY, SEPTEMBER 30, 2021

1:30 P.M.

Reported by:
Peter Petty

APPEARANCES

Lithium Valley Commission

COMMISSIONERS PRESENT

Ryan E. Kelley, Vice Chair

Rod Colwell

Roderic Dolega

Miranda Flores

Martha Guzman Aceves

James C. Hanks

Arthur "Richie" Lopez

Luis Olmedo

Frank Ruiz

Thomas Soto

Jonathan Weisgall

CEC

Commissioners Present

Karen Douglas

CEC Staff Present

Elisabeth de Jong

Richard Rojas, Legislative Manager, CEC

Lindsay Buckley, CEC Staff

Jim McKinney

Anthony Ng

Noemi Gallardo

Jordan Grimm

RoseMary Avalos

Also Present

Presenters

Cameron Perks, Benchmark Mineral Intelligence

Danny Kennedy, New Energy Nexus/CalCharge

Meg Slattery, UC Davis/Lawrence Berkeley National Laboratory

Public Comment

1. Tom Sophton, EcoMedia Compass
2. Nikola Lakic
3. William Osborn, Geothermal Resources
4. Cristina Marquez, IBEW
5. Hector Meza
6. Nicole Colwell

I N D E X

	Page
Meeting Agenda	
1. Call to Order: Introductions	6
2. Administrative Items	7
Roll Call	9
Approval of Past Meeting Action Minutes	15
3. Informational Items	
Media and Legislation Updates	15
Lindsay Buckley, CEC Staff	16
Lithium Valley Commissioner Updates	
Richard Rojas, Legislative Mgr. CEC	15
<u>Public Comment</u>	19
Tom Sophton, EcoMedia Compass	24
<u>Commissioner Comments</u>	
Commissioner Rod Colwell	27
Commissioner Miranda Flores	28
Commissioner Martha Guzman Aceves	29
Commissioner James C. Hanks	29
Commissioner Luis Olmedo	30
Commissioner Frank Ruiz	31
Commissioner Thomas Soto	32
Vice Chair Ryan E. Kelley	34
4. Lithium Market Opportunities Workshop	
<u>State Policies and Investment:</u>	
Jim McKinney, Fuels and Transportation Division	37
Anthony Ng, Energy Research and Development Division	43
<u>Lithium Market Overview:</u>	
Adam Panayi, Rho Motion (Video Presentation)	49
Cameron Perks, Benchmark Minerals Intelligence	64
<u>Commissioner Q&A</u>	72
(Off the record at 3:22 p.m., until 3:40 p.m.)	91
<u>Lithium Battery Ecosystem:</u>	
Roderic Dolega, Ford EV Purchasing	92
Danny Kennedy, CEO of New Energy Nexus, President of CalCharge	95

I N D E X

	Page
Meg Slattery, U of Ca, David and Lawrence Berkeley National Lab	114
<u>Commissioner Q&A</u>	127
<u>Public Comment:</u>	
Nikola Lakic	141
William Osborn, Geothermal Resources	144
Cristina Marquez, IBEW	145
Hector Meza, EVITP-ESMTC certified journeyman electrician	146
Tom Sephton, EcoMedia Compass	147
5. Future Meeting Discussion	149
6. General Public Comment	
Nikola Lakic	158
Nicole Colwell	159
Adjournment at 5:11 p.m.	163
Reporter's Certificate	164
Transcriber's Certificate	165

1

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26

P R O C E E D I N G S

SEPTEMBER 30, 2021 1:35 p.m.

VICE CHAIR KELLEY: Thank you, Rosemary. So if you're joining us today, be it a smart phone or tablet, you may need to find the ellipses or "more" button to navigate to the interpreter options. Again, all attendees should select a channel, either English or Spanish.

If any members of the public on the Spanish channel have questions or public comment they will be given the same opportunity to engage in public comment throughout the Agenda at the same time that the Chair opens the meeting for public comment for all.

The interpreter will provide instructions to those on the Spanish channel to be sure that all attendees can use the raised hand feature and be called on to speak. The interpreter will assist and translate the question or public comment into English for the benefit of the Commissioners and the attendees on the English channel.

Unfortunately, the Zoom interpretation function does not work for attendees who are only joining by phone. So our attendees on the phone will hear the English channel of this meeting. The Spanish channel is intended to provide members of the public

1 the ability to hear the entire dialogue of the Lithium
2 Valley Commission Meeting in Spanish and in real time.

3 To insure that all members of the public have
4 access to the meeting under the Bagley-Keene, we ask
5 that all the Lithium Valley Commissioners select and
6 remain on the English channel for the entirety of the
7 meeting, preferably with cameras on.

8 All attendees who wish to join the English
9 channel please look for the small globe icon on the
10 bottom of your Zoom application and select the English
11 channel. Do not select "mute original audio."

12 Also, please note that the slides include some
13 text in Spanish, which is highlighted in light gray.
14 At this time I'll ask Elizabeth or Gina to address --
15 make a welcome, and also address some of the
16 administrative items.

17 MS. de JONG: Great. Thank you so much. So
18 this meeting is being conducted entirely remotely via
19 Zoom. This means that we're in separate locations and
20 communicating only through electronic means.

21 We are meeting in this fashion consistent with
22 Assembly Bill 361, Chapter 165, statutes of 2021, to
23 improve and enhance public access to state agency
24 meetings during the COVID-19 pandemic and future
25 emergencies by allowing broader access through

1 teleconferencing options.

2 The public can participate, consistent with
3 the direction in this bill. This meeting is being
4 recorded, as well as transcribed by a court reporter.
5 The transcript will be posted to the electronic docket.

6 The recording of the meeting will be available
7 on the Lithium Valley Commission web page. The Spanish
8 interpretation will not be recorded or transcribed.
9 Members of the public will be muted during the
10 presentation, but there will be an opportunity for
11 public comment on each Agenda item, and an additional
12 opportunity for public comment towards the end of the
13 Agenda.

14 To provide public comment please use the raise
15 hand feature in Zoom, and to be called on to speak.
16 When you speak, please provide your name and
17 affiliation. If you've called in by phone you will
18 need to dial *9 to raise your hand and *6 to unmute
19 yourself. Before speaking, please say and spell your
20 name for the court reporter.

21 There is also a Q&A window in the Zoom
22 application, which you may use to type your questions.
23 If you want to provide public comment but are unable to
24 raise your hand in the Zoom application or by phone,
25 then during the public comment portion of the meeting

1 you may type your comment into the Q&A window so we can
2 relay your comment.

3 We'll go over these instructions again during
4 the time for public comment. Please remember to stay
5 muted until you've been called on to speak. We also
6 have a chat function available for IT support, and we
7 ask that the Lithium Valley Commissioners use the chat
8 for IP support, as well.

9 Any other comments are considered substantive
10 to the conversation and should be made publicly and
11 orally for Bagley-Keene compliance. Meeting materials,
12 including the Notice, presentation slide decks and
13 resource documents are posted online and in the Lithium
14 Valley Commission docket.

15 Please note that an updated -- oh, sorry.
16 Never mind. So the updated PowerPoint presentation
17 from last month is available in Spanish. All right.
18 So we're going to move on to the roll call.

19 This is roll call of the Lithium Valley
20 Commissioners to determine if we have a quorum. So
21 when I call your name please respond if you are present
22 and turn on your camera if you can.

23 Commissioner Castaneda; is not present.

24 Commissioner Colwell.

25 COMMISSIONER COLWELL: Present.

1 MS. de JONG: Thank you. Commissioner Dolega.
2 COMMISSIONER DOLEGA: Present.
3 MS. de JONG: Thank you.
4 Commissioner Flores.
5 COMMISSIONER FLORES: Present.
6 MS. de JONG: Thank you.
7 Commissioner Guzman Aceves.
8 COMMISSIONER GUZMAN ACEVES: Present.
9 MS. de JONG: Thank you.
10 Commissioner Hanks. I don't hear a response.
11 Vice Chair Kelley.
12 VICE CHAIR KELLEY: Present.
13 MS. de JONG: Thank you.
14 Commissioner Lopez.
15 COMMISSIONER LOPEZ: Present.
16 MS. de JONG: Thank you.
17 Commissioner Olmedo.
18 COMMISSIONER OLMEDO: Present.
19 MS. de JONG: Thank you.
20 Chair Paz is not present.
21 Commissioner Ruiz.
22 COMMISSIONER RUIZ: Present.
23 MS. de JONG: Thank you.
24 Commissioner Scott. Not present. Okay.
25 Commissioner Soto.

1 COMMISSIONER SOTO: Here.

2 MS. de JONG: Great. Thank you.

3 And Commissioner Weisgall.

4 COMMISSIONER WEISGALL: Present.

5 MS. de JONG: Great. Thank you. So we do

6 have at least eight members. So we have a quorum.

7 Also in attendance today from the CEC is Commissioner

8 Douglas. So I will hand the meeting back over to you,

9 Vice Chair Kelley.

10 VICE CHAIR KELLEY: Thank you, Elisabeth. So

11 the next item is to the Agenda. The Agenda today will

12 be as follows. The welcome and roll call,

13 administrative items, the approval of the meeting

14 minutes from August 26th; the informational items,

15 media and legislative updates; the Lithium Valley

16 Commissioner updates.

17 The next item is Lithium Market Opportunities

18 Workshop where we'll have presentations on state

19 policies and investments; Lithium Market Overview and

20 Lithium Battery Life cycle.

21 Then Determination of Agenda Topics, Speakers,

22 Presentations for Future Meetings, public comment and

23 adjournment. And of course, in each item we will have

24 the opportunity for questions and answers, and also for

25 public comment.

1 So the first item will be the approval of the
2 past meeting minutes. If you had the opportunity to
3 review the minutes, are there any edits, additions or
4 deletions? Hearing none, do I hear a motion to accept
5 --

6 COMMISSIONER WEISGALL: So moved; Jonathan
7 here.

8 COMMISSIONER COLWELL: I'll second.

9 VICE CHAIR KELLEY: A motion by Commissioner
10 Weisgall, seconded by Commissioner Colwell. Any
11 comment?

12 MS. de JONG: So before we take the vote we'll
13 move to public comment.

14 VICE CHAIR KELLEY: Thank you, Elisabeth.

15 MS. de JONG: So I'll go ahead and read those
16 instructions again. If you're joining us via Zoom on
17 your computer, please use the raised hand feature, and
18 if you called in, please dial *9 to raise your hand and
19 then *6 to unmute your phone line.

20 This public comment period is regarding the
21 vote to accept last month's meeting action minutes.
22 All right. I do not see any comments or questions at
23 this time.

24 So we'll go back to you, Vice Chair Kelley,
25 for the vote.

1 VICE CHAIR KELLEY: Okay. We have a motion
2 and a second. I'll first -- well, do we have to do
3 roll call, Elisabeth or can we just say the ayes and
4 nays?

5 MS. de JONG: Yes. So if we can go through
6 the list of names and call on each person to ask for
7 their vote.

8 VICE CHAIR KELLEY: Okay. Then I will ask
9 Commissioner Castaneda, are you for or against?

10 MS. de JONG: Okay. Commissioner Castaneda is
11 not present.

12 VICE CHAIR KELLEY: Commissioner Colwell, for
13 or against.

14 COMMISSIONER COLWELL: (inaudible response.)

15 VICE CHAIR KELLEY: I believe that was a yes.

16 COMMISSIONER COLWELL: Yes. I'm sorry.

17 VICE CHAIR KELLEY: Commissioner Dolega, for
18 or --

19 COMMISSIONER DOLEGA: Yes.

20 VICE CHAIR KELLEY: Yes.

21 Commissioner Flores.

22 COMMISSIONER FLORES: Yes.

23 VICE CHAIR KELLEY: Commissioner Guzman
24 Aceves.

25 COMMISSIONER GUZMAN ACEVES: Yes.

1 VICE CHAIR KELLEY: Commissioner Hanks.
2 COMMISSIONER HANKS: Yes.
3 VICE CHAIR KELLEY: I vote in the affirmative,
4 yes.
5 Commissioner Lopez.
6 COMMISSIONER LOPEZ: Yes.
7 VICE CHAIR KELLEY: Commissioner Olmedo.
8 COMMISSIONER OLMEDO: Yes.
9 VICE CHAIR KELLEY: Chairman Paz.
10 MS. de JONG: Is not present.
11 VICE CHAIR KELLEY: Commissioner Ruiz.
12 COMMISSIONER RUIZ: Yes.
13 VICE CHAIR KELLEY: Commissioner Scott.
14 MS. de JONG: Is not present.
15 VICE CHAIR KELLEY: Commissioner Soto.
16 COMMISSIONER SOTO: Yes.
17 VICE CHAIR KELLEY: Commissioner Weisgall.
18 COMMISSIONER WEISGALL: Yes.
19 VICE CHAIR KELLEY: Okay. That has it. The
20 affirmative wins. The minutes are approved and we move
21 on to media and legislative updates. At this time we
22 will ask Mr. Rojas to give us a legislative update.
23 MR. ROJAS: Good afternoon. Can you hear me?
24 VICE CHAIR KELLEY: Yes.
25 MS. de JONG: Yes.

1 MR. ROJAS: Great. So yes, Richard Rojas.
2 I'm the Legislative Manager at the Energy Commission,
3 and the Legislative Session for 2021 has concluded, and
4 September 10th was the last days for bills to pass
5 either House.

6 The governor has until October 10th to sign or
7 veto bills. During the last several months we've
8 looked at as many as five bills directly relating to
9 Lithium and those have become two-year bills. So they
10 can come up in January of next year.

11 One bill that indirectly related to lithium
12 was chaptered on the 23rd of September, SB 423 by Henry
13 Stern, and that required the Energy Commission to put
14 together an assessment of firm zero carbon resources
15 that support a clean, reliable and resilient electrical
16 grid by December 31 of 2023.

17 It did mention in its findings and
18 declarations that there's an urgent need for lithium to
19 -- lithium supply. So that's a direct -- you know --
20 the indirect relationship to lithium. We probably will
21 have a very short report going from now until February
22 of next year, because they are now in interim recess,
23 and the introduction deadline will be February 20th,
24 give or take a few days, of 2022. And that is all I
25 have. Thank you.

1 VICE CHAIR KELLEY: Thank you, Mr. Rojas.

2 VICE CHAIR KELLEY: Ms. Buckley.

3 MS. BUCKLEY: Greetings, Commission members,
4 members of the public. There have been no media
5 inquiries since our last meeting, but a few pieces
6 published that were in the works; specifically, a piece
7 from the Associated Press titled, "Lithium Fuels Hopes
8 for a Revival on California's Largest Lake." That was
9 published at the end of August.

10 And then a piece in the Guardian just this
11 week, "In Search of Lithium Valley, Why Energy
12 Companies See Riches in the California Desert," both
13 pieces featuring Lithium Valley Commission as central
14 to this issue, and several of the members encouraged
15 folks to check that out.

16 They got a nice glamor shot of Luis in the
17 Guardian piece. And then there was some local
18 reporting, as well. The Calexico Chronicle continues
19 to follow the story locally, reporting on IID, sending
20 a letter to the President on Hell's Kitchen Project, as
21 well as the county bringing on a lithium-related
22 consultant.

23 And then tonight KESQ News Channel 3 will be
24 premiering a piece on the Lithium Valley issue, as
25 well. On the topic of the community meeting that will

1 be coming up in November, our office will be working
2 with staff to develop a flyer, both in English and
3 Spanish, to provide to members to help us get the word
4 out, and then we'll also be promoting.

5 In addition to sending that out on our
6 listers, we'll also be doing some social media
7 outreach, and we're glad to provide some draft content
8 to all of you to help us get the word out locally on
9 that community meeting, as well. And that's it for me.

10 VICE CHAIR KELLEY: Thank you, Ms. Buckley.

11 I see a question in regard -- from the Q&A.
12 And Elisabeth, I'm sure we have a -- do we have a
13 comment period for this item?

14 MS. de JONG: We do, yes, and we will ask if
15 Lindsay Buckley can help with answering that question.
16 Thank you.

17 VICE CHAIR KELLEY: Okay.

18 MS. BUCKLEY: Yes. I'm glad to share links to
19 those articles in the chat. We do have an issue with
20 our docket and sharing these articles, though, just due
21 to copyright. There's some challenge with sharing
22 these and publishing them on our docket that I just
23 want to make folks aware of.

24 So I will gladly share them in the chat, but
25 it's not something that we're able to docket, just due

1 to copyright concerns.

2 VICE CHAIR KELLEY: Thank you. So at this
3 time we'll open public comment for the media and
4 legislative update.

5 MS. de JONG: If we can start with Lithium
6 Valley Commissioners. I do see a hand raised from
7 Commissioner Guzman Aceves.

8 VICE CHAIR KELLEY: Oh, very good.
9 Commissioner Guzman-Aceves.

10 COMMISSIONER GUZMAN-ACEVES: Thank you,
11 Commissioner Kelley. I just wanted to check in on some
12 of what you were talking about Lindsay. So -- and I'm
13 sorry to have been missing the last meeting. But we
14 have a Community Focus Meeting coming up. Is that
15 right? Is that what you were referring to?

16 MS. BUCKLEY: Yes. And I -- staff can jump in
17 on whether that date has been confirmed, but I
18 understand that will be in November.

19 MS. de JONG: Yes. So we are moving ahead
20 with plans for the November 17th date.

21 COMMISSIONER GUZMAN-ACEVES: Okay. And is
22 that the next -- was -- is that the same as the next
23 Commission meeting, or is this going to be a different
24 -- slightly different focus?

25 MS. de JONG: There is a Commission meeting

1 set for October 28th between now and then. That will
2 be the regular Lithium Valley Commission Public
3 Meeting. The November 17th meeting is specifically a
4 Community Engagement Meeting. We will have more
5 information and a meeting notice to share with that in
6 the coming month.

7 COMMISSIONER GUZMAN-ACEVES: Okay. And maybe
8 I can channel a little bit of Chair Paz here. I know
9 in previous meetings he's been -- well, one of the
10 reasons we're doing this community meeting. But also,
11 the importance I know many of you share of making sure
12 we have all the proper outreach to get full
13 participation.

14 So if there's any way -- if we can just get a
15 quick rundown of what those efforts look like, and if
16 there's anything -- I see some folks -- you know --
17 some Commissioners, like Commissioner Olmedo and others
18 who probably could help with more specifics on the type
19 of outreach that we need to do to get a greater
20 community participation.

21 MS. BUCKLEY: Yes. I'm happy to jump in here,
22 Commissioner. We have just recently met with our
23 staff. So as the details of the -- that have just come
24 together, we're developing some outreach materials.

25 We are intending to translate those materials,

1 so a flyer that hopefully catches attention, provides
2 some basic information about the meeting and why folks
3 should attend. We plan to distribute that through our
4 channels, and then working with our public advisor, as
5 well.

6 And we're also hoping to equip all of the
7 members of the Commission with this information to help
8 us do outreach. We'll be asking the members, for
9 example, the county, does the county have a calendar,
10 an outreach mechanism that we can leverage to help get
11 the word out further.

12 So between the outreach and the materials
13 we'll be providing through our channels, and we'll also
14 be providing this information to the members, and then
15 we're open to more. Certainly, the objective is to get
16 the community engaged, but the first step is making
17 them aware and actually making sure that they have the
18 opportunity to come to this meeting.

19 And Commissioner, also welcome, you know,
20 perhaps we can work with our colleagues at the Public
21 Utilities Commission to leverage some of the channels
22 through the Public Advocates Office and other offices.

23 COMMISSIONER GUZMAN-ACEVES: Yes. And I was
24 really more hoping we leverage Member Olmedo and Chair
25 Paz's community connections.

1 MS. BUCKLEY: Absolutely. You know, not
2 everybody is following their favorite state agency. So
3 what we want to do is make sure we develop some good
4 materials, draft some content and then put that in the
5 hands of all the Commission members who are better
6 connected with the community members.

7 MS. de JONG: I do see that Commissioner
8 Olmedo is raising his hand. Perhaps you would be
9 willing to speak about the recent efforts with
10 community-based organizations to plan for this event.

11 And if I could just jump in and add just a
12 couple details. The event is being planned right now
13 for November 17th, 6:00 to 8:00 p.m. As I said, more
14 information to come. As of right now, the CEC is only
15 able to host this virtually.

16 So it will be a Zoom meeting like what we have
17 today, and we're just looking forward to the event. So
18 Vice Chair Kelley, I'll lead it back to you, but also
19 acknowledge that Commissioner Olmedo is raising his
20 hand.

21 VICE CHAIR KELLEY: Luis.

22 COMMISSIONER OLMEDO: Yes. Thank you,
23 Chairman. And thank you, Commissioner Guzman, for your
24 vote of confidence, and rightfully so for very good
25 reasons. It certainly is high on your radar. I do

1 want to, in all fairness, you know, give the team there
2 at the CEC, that they -- it must have followed some
3 good advice, and they did reach out and they have
4 brought local organizations to the table to draw on
5 their community outreach expertise.

6 I certainly, you know, volunteered quite a few
7 members of my staff to help inform. So I do appreciate
8 that and I thank them for being open to a lot of that
9 advice. I will say that, obviously, it's an ongoing
10 sharing and learning that needs to happen.

11 It's not just for this meeting, but for future
12 meetings. There's always going to be something new
13 that we're going to be able to learn, you know,
14 mutually, and be able to just make them better and make
15 them more effective, and -- but with that, I just want
16 to just highlight that.

17 So thank you for bringing that up,
18 Commissioner Guzman, and to the CEC team and Elisabeth
19 for putting it all together. So thank you.

20 VICE CHAIR KELLEY: Thank you. So at this
21 point we would open it up for public comment in regards
22 to the Legislative and Media Report.

23 MS. de JONG: Great. Thank you so much. So
24 let me go ahead and read through those instructions
25 again. If you're joining us on Zoom via your computer,

1 please use the raised hand feature, and if you called
2 in, please dial *9 to raise your hand and then *6 to
3 unmute your phone line.

4 We'll start by folks who are on the Zoom
5 application and then the phone. I have a hand raised
6 from Tom Sephton, and you should be able to unmute
7 yourself.

8 MR. SEPHTON: Thank you. Appreciate the
9 opportunity to make a public comment. I'm Tom Sephton,
10 current Board President of the EcoMedia Compass, a
11 Salton City based community nonprofit. And in our
12 social media presence in particular, and also just
13 among people in the community, we've been seeing a lot
14 of questions about lithium development in the Imperial
15 Valley, and we're seeing a lot of misinformation being
16 spread by all kinds of people in the community.

17 And I think there's a real problem with people
18 not understanding the way that lithium would be brine
19 mined in the Imperial Valley. And there's a lot of
20 probably unneeded level of concern that the lithium
21 operation in Imperial Valley is going to be like what
22 we see in South America, which is very environmentally
23 damaging and/or like some of the hard rock mining
24 operations.

25 So I think it would be very useful and

1 necessary to share truthful information with the
2 community about how lithium development would go
3 forward in the Imperial Valley and to allay some of the
4 concerns about environmental damage, because we're
5 aware that the way lithium would be mined in Imperial
6 Valley is much less environmentally problematic than
7 the way it's done in other places in the world.

8 So my question is, do you have good
9 information, materials available that we can share with
10 our social media and online contacts and with our
11 contacts within the West Shores community so that we
12 can help people understand better how Imperial Valley
13 will do a lithium development process?

14 And if you've got anything, we'd appreciate
15 you sharing with it -- us -- with -- that with us so
16 that we can share that with our contacts in the
17 community and in the online community. Thank you.

18 VICE CHAIR KELLEY: Thank you, Mr. Sephton. I
19 believe your question or your comment, it will be
20 addressed during the member comments.

21 MS. de JONG: All right. Thank you. And then
22 if I can just also acknowledge that there is a public
23 comment. It's in the chat. It will remain. So if
24 you're looking to access questions, if you could put
25 them in the Q&A box that would be preferred.

1 But so the community outreach event on
2 November 17th will be via Zoom, and it will be
3 recorded. So the information will be available online.
4 As we mentioned, these are usually planned -- or you
5 know -- a few weeks ahead of the event. So more
6 information to come on that November 17th event. Thank
7 you.

8 That is all of the hands raised in public
9 comments that I see. So back to you, Vice Chair
10 Kelley, for the next Agenda item.

11 VICE CHAIR KELLEY: Thank you, Elisabeth. So
12 at this time it's the Commissioner comments, and
13 knowing how sometimes Commissioners can come off and on
14 or lose connection, I'll run down the entire list, and
15 we'll start with if Chair Paz was able to join us, do
16 you have any comments.

17 MS. de JONG: Chair Paz is not present.

18 VICE CHAIR KELLEY: Okay. I'll defer until
19 the end. And Commissioner Castaneda, do you have any
20 comments?

21 MS. de JONG: Commissioner Castaneda is not
22 present.

23 VICE CHAIR KELLEY: Okay. Commissioner
24 Colwell, do you have any comments?

25 COMMISSIONER COLWELL: Yeah, thanks, Ron. I

1 think Mr. Sephton's comments are very, very valid.
2 We'll share some of that information ahead of time
3 before the public meeting about how this is, you know,
4 the term "mining," it's not mining.

5 It's lithium recovery from way below the
6 Salton Sea. So it'd be great. I think that was a very
7 valid question, and yes, there's a lot of
8 misconceptions out there about how this is mined, or
9 it's mined from the Salton Sea or it's environmentally
10 hazardous or thinking -- questions like that, which can
11 be answered and we'd be very happy to support that.

12 Yep, apart from that, it's probably demand,
13 you know, with the Hell's Kitchen Project, beyond
14 General Motors commitment, we have more commitments
15 than we could ever imagine, you know, in the last, you
16 know, 12 months ago. It's just incredible.

17 So believe these commitments of US Auto and
18 other sectors that are really pushing for a 2024-2025
19 window of opportunity before they're forced to revert
20 back to Asia or China for to get supply.

21 It's -- you know -- the window is not open for
22 sort an eternal period of time. So I think we
23 collectively, all of us here on the Commission and the
24 whole community have a tremendous opportunity to sort
25 of pull together and get -- you know -- take advantage

1 of this great opportunity. So that's it from me.

2 VICE CHAIR KELLEY: Thank you, Commissioner
3 Colwell.

4 Commissioner Dolega.

5 COMMISSIONER DOLEGA: No comments right now.

6 VICE CHAIR KELLEY: Thank you, Commissioner.
7 Commissioner Flores.

8 COMMISSIONER FLORES: Sure. I just wanted to
9 update the Commission that a few weeks ago CNRA,
10 California Natural Resources Agency, had a meeting with
11 Senator Padilla, and we just kind of gave just general
12 highlights on all the projects that are currently going
13 on with the Salton Sea, the long range plans, and then
14 we discussed some of what the Lithium Valley Commission
15 was doing and what hopes were, and one of our topics
16 that we'll be discussing in the future and will be, you
17 know, keeping an eye on all of us. And that's it.

18 VICE CHAIR KELLEY: Thank you, Commissioner
19 Flores.

20 Commissioner Guzman-Aceves.

21 COMMISSIONER GUZMAN-ACEVES: Thank you. Just
22 briefly, and I can put some links in the chat, but we
23 do have a followup decision on our Integrated Resources
24 Plan Procurement decision that did mandate the 11,500
25 megawatts.

1 And so I'll put those in the chat. There
2 should be a subsequent decision shooting for before the
3 end of the year. Thank you.

4 VICE CHAIR KELLEY: Thank you, Commissioner
5 Guzman Aceves. And we are extremely interested and
6 glad to have you in attendance to give us those dates
7 and what is being discussed.

8 Commissioner Hanks, any comments? Okay.

9 COMMISSIONER HANKS: Just a couple of them.
10 I'm having some technical difficulties today. But at a
11 future meeting we need to circle back and revisit water
12 supply with the situation that's developing on the
13 Colorado River.

14 And also, I think at some point in time we
15 need to have a discussion on energy transmission
16 pathways from the known geothermal resource area.
17 Thank you.

18 VICE CHAIR KELLEY: Thank you, Commissioner
19 Hanks.

20 Commissioner Lopez.

21 COMMISSIONER LOPEZ: No comment at this time.

22 VICE CHAIR KELLEY: Thank you, Commissioner.
23 Commissioner Olmedo.

24 COMMISSIONER OLMEDO: Yes. I thank you, Mr.
25 Chairman. Just a couple of very brief comments. One

1 is, I am just very pleased to have disadvantaged
2 communities, environmental justice, and you know, a lot
3 of things that are really driving investment in
4 creating a more equitable table.

5 And I'd just like to bring back, you know,
6 just an acknowledgment of Assembly Member Eduardo
7 Garcia and his vision, you know, much earlier than what
8 we're seeing a lot today in terms of the comeback plan
9 -- Come Back Better Plan, or how California's plan, you
10 know, of investment.

11 And I, you know, I'd just like to encourage,
12 you know, all those who are going to have some
13 involvement, whether it's a regulatory or community or
14 anyone, or any government structure that would have
15 some influence in how the process that would help play
16 a key component to this, that they begin to look
17 internally at their own policies and making sure that
18 they are updating their policies.

19 And you know, specifically, I'll just name
20 two, like county and IAD's (phonetic) study. I know
21 they're going to be very key players, but there's many
22 others who certainly should, you know, encourage that
23 they be looking at their policies and see how
24 consistent they are with, you know, sort of today's
25 expectations of equity and justice like. So that's all

1 I have for now.

2 Thank you, Chairman.

3 VICE CHAIR KELLEY: Thank you, Commissioner
4 Olmedo.

5 Commissioner Ruiz, comments?

6 COMMISSIONER RUIZ: I just have a comment.
7 This is a followup on the request by Tom Sephton. I
8 think it will be important to have a specific docket
9 that we can put one together, one a digital one and
10 perhaps, you know, a printout one, as well.

11 I think it is important to inform the
12 community. It would be relevant to dissipate
13 misinformation and allow the community to be well
14 informed. So I think that if we can probably work on
15 them on a special docket where we can make available to
16 community members, both digitally and in a printout
17 form.

18 VICE CHAIR KELLEY: Thank you, Commissioner
19 Ruiz. I think that's a very valuable suggestion.

20 Commissioner Scott.

21 MS. de JONG: Is not present.

22 VICE CHAIR KELLEY: Commissioner Soto,
23 comments?

24 COMMISSIONER SOTO: Thank you. No. I just
25 would only add that, you know, I was in Washington two

1 weeks ago, and there can't be anymore wind in our sails
2 right now than the type of leadership that we have with
3 this Commission, the CEC, the governor, Senator
4 Padilla, Assembly member Garcia, Juan Vargas, and with
5 the Biden/Harris administration that are viewing this
6 discussion that we're having, probably of greater
7 magnitude than we actually feel it may be.

8 So let's not underestimate our ability to
9 affect and take that wind, and quite frankly, cast
10 larger sails, right. And there's going to be a
11 tremendous amount of opportunity, despite what Mr.
12 Manchin may say.

13 You know, there's going to be some, you know,
14 budget that will benefit this conversation. I think he
15 just announced that he doesn't want to go north of 1.5
16 trillion. The president wants to be at 3.5 trillion.

17 In my discussions with folks, they believe
18 it's somewhere between 2 trillion and 3. So let's hope
19 that it gets bumped up a little bit more, but we should
20 make every effort to take advantage of this very unique
21 opportunity in our country's history.

22 VICE CHAIR KELLEY: Well said. Thank you,
23 Commissioner Soto. That is exactly what I think we're
24 all experiencing.

25 Commissioner Weisgall.

1 COMMISSIONER WEISGALL: Yeah. Good comments,
2 Commissioners. We are looking forward to this
3 Community Engagement Meeting.

4 Elisabeth, we'd be delighted to work with
5 staff to share materials we've made public previously
6 to help prepare for the meeting. We've met with quite
7 a few environmental justice and community-based
8 organizations.

9 And we're well aware of the misinformation,
10 not to mention the lack of information, and I think it
11 can be hard to reach some of these communities. So
12 this is important. We did hold a Town Hall Meeting
13 back in March.

14 We had about 200 plus attendees, but we do
15 look forward to this -- to future meetings, both
16 through this November 17 Community Engagement Meeting,
17 but also one on one with EJ -- environmental justice
18 and community-based organizations that want to learn
19 more about our project.

20 It's quite clear to Berkshire Hathaway Energy
21 that community outreach and engagement are essential
22 components needed for lithium development in Imperial
23 County to be successful. Thanks very much.

24 VICE CHAIR KELLEY: Thank you, Commissioner
25 Weisgall. And I would only add as comments that

1 through our conversations, locally we are having a
2 media day tomorrow. Energy Source is providing the
3 venue to show their geothermal operation, and also,
4 their site for their mineral recovery, also to take a
5 look at some of the seismic landscape.

6 So there's some mud pots close to McDonald
7 Road and Energy Source that you can see the naturally
8 occurring event. And then we're going to have a
9 conversation bringing media into Calipatria to talk
10 with the city and with the school district, and let
11 them know about the how the impact of having that
12 energy in their neighborhood, the benefits and
13 disadvantages or challenges of having that industry
14 develop.

15 So that came from a local conversation
16 initially with industry and with the community about
17 doing that and getting the media to address it. And
18 there was one article that was written this past summer
19 where it did compare Salton Sea mineral recovery
20 extraction to operations in Chile, and we've invited
21 that specific reporter onto this tour. Hopefully, he
22 will attend.

23 COMMISSIONER WEISGALL: Vice Chair Kelley, let
24 me just jump in for a sec Jonathan here. I see there's
25 a question kind of along these lines, has this project

1 undergone sequel review. Is there an initial study or
2 an environmental impact report?

3 I do know, and I think you know, that Energy
4 Sources, I think 1388-page environmental impact report,
5 is publicly available and has been studied by the
6 Imperial County Planning Commission.

7 So the person that's an anonymous person
8 that's asked this question -- but you can go to the
9 Imperial Valley Planning Division site and get a hold
10 of that entire report. It's quite thorough. And
11 that's a report for their lithium project called -- the
12 acronym I think is ATLAS, if I'm not mistaken. Thanks.

13 VICE CHAIR KELLEY: Thank you, John.

14 So with that, then, Elisabeth, do we have
15 public comments about Commissioner comments?

16 MS. de JONG: We do not currently have one in
17 the Agenda for that item itself.

18 VICE CHAIR KELLEY: Okay. Very good.

19 MS. de JONG: And would -- if I could just
20 point out, though, that we did get in the chat --
21 again, if Lithium Valley Commissioners could please ask
22 their questions, either live or in the Q&A -- but we
23 did get a question written in from Commissioner Ruiz to
24 you directly, Vice Chair Kelley, asking if that event
25 that you were talking about tomorrow is open to the

1 public.

2 VICE CHAIR KELLEY: Oh. So Frank, it is
3 intended for the media to -- but if you'd like to come
4 you're more than welcome. I can send you the
5 information, as well. There will be other public
6 venues for the general public to understand more about
7 geothermal and recovery in Imperial County.

8 But this one is targeted, and as a result of
9 our conversations down here about the misinformation
10 that Mr. Sephton brought forward we wanted to make sure
11 that what is being proposed is presented accurately,
12 even in our local newspapers.

13 Okay. Then we'll move on to the Lithium
14 Market Opportunities Workshop. That is the topic for
15 this month. And to start, we have two five-minute
16 presentations, one from Mr. McKinney, from Fuels and
17 Transportation Division, and the other from Anthony Ng,
18 from the Energy Research.

19 Mr. McKinney, are you ready for your
20 presentation?

21 MR. MCKINNEY: I am, if we can get the slide
22 deck ready. Good afternoon, Commissioners, and members
23 of the public. My name is Jim McKinney, and I'm with
24 the Fuels and Transportation Division here at the
25 Energy Commission.

1 My goal with this brief talk is to describe
2 California's policy leadership on zero emission
3 vehicles, or ZEVs. California is a significant end
4 market for ZEV vehicles, components and batteries.
5 More ZEVs are sold here than in most other countries.

6 Zero emission vehicles and components are also
7 now our leading export. When I use the term "ZEVs" in
8 this talk I'm going to refer primarily to full battery
9 electric drive vehicles. It is -- also includes plug-
10 ins and hydrogen fuel cell electric vehicles.

11 Slide please. California ZEV policies are
12 based on climate change and air quality standards. The
13 goal of these standards is to reduce vehicle-based
14 carbon dioxide emissions that contribute to climate
15 change, and to reduce the vehicle pollutants like NOx
16 and particulate matter that degrade public health.

17 The 2006 Global Warming Solutions Act is the
18 legislative foundation for the state's work to reduce
19 greenhouse gas emissions from all sectors of our large
20 economy. For decades, California has had some of the
21 worst air quality in the country.

22 The state was granted a waiver under the
23 Federal Clean Air Act to set tougher emission standards
24 than used in the rest of the country. Some other
25 elements for our ZEV policy leadership in California is

1 our strong environmental ethic.

2 We also have a strong history of technology
3 innovation, cultural innovation and a zest for what is
4 new. The rest of this chart shows the main ZEV policy
5 targets for vehicles and charging infrastructure. And
6 note that EO stands for Governor's Executive Order.

7 By 2035 all new light duty vehicles sold are
8 to be ZEVs. By 2025 our policy goal is to have 250,000
9 public EV chargers and by 2045, all trucks and buses
10 are to be zero emission. Slide please.

11 This chart shows a steep trajectory towards a
12 complete phase out of fossil-based vehicle fuels. Back
13 in 3/20/2021 we're at about 925,000 in cumulative light
14 duty ZEV sales, but we're on our way to the 2025 policy
15 target of 1.5 million.

16 In 2035 when all new car sales will switch to
17 zero emission drive trains we are projected to be at 8
18 million ZEVs. It will take another 10 years of ZEV
19 sales to reach full phase out of gasoline and diesel
20 powered cars.

21 As the fifth largest economy on the planet,
22 California ZEV policies affect policies and markets at
23 the national and global scale. We account for nearly
24 half of the 2 million ZEV sales in the US and nine
25 percent of total global ZEV sales.

1 California ZEV policies are more aggressive
2 than many of the Asian big economies and more
3 aggressive than most European countries. And note that
4 I'm comparing California to the world's leading
5 industrial economies and not just to other states.

6 Section 177 of the Federal Clean Air Act
7 allows other states to adopt California's more
8 stringent vehicle emission standards. There are now 14
9 states adopting these standards, accounting for 30
10 percent of the total light duty vehicle market in the
11 US

12 Our one million trucks represent just three
13 percent of the total vehicle fleet, but are responsible
14 for 21 percent of on road carbon emissions and 71
15 percent of on road NOx. So the state is working hard
16 to eliminate carbon based fuels from the truck and bus
17 sectors.

18 Next slide, please. Another key element of
19 California's policy leadership is funding. Since 2008
20 the state has consistently authorized incentive funding
21 as a complement to policy and regulatory actions.

22 The Energy Commission has a key role in the
23 achieving the ZEV-ZEV adoption goals. ZEV drivers need
24 to be confident that there is a vast, convenient and
25 reliable network of electric chargers. The Commission

1 is responsible for helping to develop this charging
2 network.

3 Since 2008 and the creation of the Clean
4 Transportation Program, CEC's Fuels and Transportation
5 Division has invested over \$1 billion to kick start the
6 state ZEV fueling infrastructure.

7 And you can see how -- the top part of this
8 chart -- how some of this money has been invested. The
9 early years of our program also included 55 million for
10 27 ZEV manufacturing projects. With the 2021-22 fiscal
11 year the governor and legislature authorized major
12 increases to help meet the ZEV adoption targets.

13 The 1 billion investment over the next three
14 fiscal years equals the first 13 years of our funding.
15 You can see the FTD staff recommendations for
16 allocating this free funding. In a possible interest
17 to LVC stakeholders we are allocating 250 million in
18 manufacturing support funding.

19 RMV funding is another critical part of the
20 state strategy, and my colleague Andrew Ng is going to
21 address this in his talk. Slide, please. The Air
22 Resources Board is responsible for administering the
23 subsidy funding for ZEV cars, trucks and buses.

24 Since 2008, they've distributed 2 billion in
25 vehicle support funding. Nearly 1 billion has gone to

1 subsidize 410,000 passenger vehicles, and another half
2 billion to subsidize 7,000 trucks and buses. The
3 governor and legislature have increased ZEV funding --
4 or funding for ZEV cars, trucks and buses, as well; 1.5
5 billion in FY '21-22 and another 2.3 billion in FY '22-
6 24.

7 Note that on the side here I've highlighted
8 some of the truck and bus funding targets. With regard
9 to trucks here's a scaling example that shows the
10 volume of lithium ion cells needed for a large truck.

11 Daimler is one of the world's largest truck
12 manufacturers. Their new Cascadia Class 8 tractor with
13 a 580-kilowatt motor will use lithium ion cells. This
14 is the energy and power needed to haul 80,000 crate
15 loads. In contrast, Tesla's Model 3 with its 82-
16 kilowatt motor uses about 4,000 cells.

17 Slide, please. In closing, let me say a
18 little bit more about the Clean Transportation
19 Program's upcoming manufacturing grants. In '21-22
20 we're offering 118 million for projects to scale up
21 California's supply chains for advanced battery
22 materials and technologies.

23 We will host a workshop later this year, and I
24 encourage you to monitor the CEC's website's funding
25 page. And lastly, please note our strong commitment to

1 equity and diversity in all of our grant funding
2 solicitations. Thank you. That concludes my
3 presentation.

4 VICE CHAIR KELLEY: Thank you, Mr. McKinney.

5 And next is Mr. Ng, or I believe that this is
6 a recorded presentation.

7 MR. NG: No. I'm here, Vice Chair. So I
8 thank you for the --

9 VICE CHAIR KELLEY: Oh, very good.

10 MR. NG: Yes. Thank you. Thank you, Vice
11 Chair, Commissioners and members of public. Appreciate
12 the opportunity to present today. My name is Anthony
13 Ng and I'm with the California Energy Commission's
14 Research and Development Division.

15 And today, I'll be providing a brief overview
16 of some of the investments the CEC is making in the
17 next generation of lithium ion battery technology. So
18 next slide, please.

19 So just to start off with a little bit of
20 context, I'm sure, as many of you are aware, California
21 has its ambitious climate and energy goals, chief of
22 which, SB 100 most recently is requiring that all
23 retail sales of electricity in California come from
24 renewable and zero carbon sources by 2045.

25 And so in the Joint Agency Report published

1 earlier this year it identified that in order to
2 achieve this goal not only are we going to need a
3 threefold increase in the deployment of renewable
4 generation sources, like solar and wind, but to support
5 that intermittent resources and that clean generation
6 we're going to need up to an eightfold increase in
7 battery deployment.

8 So the demand for storage technologies and
9 lithium ion batteries is project to increase
10 significantly over the next several decades. Next
11 slide, please. So just a little bit of background
12 about lithium ion battery in general.

13 Lithium ion batteries have four primary
14 components. Listed there is the anode, the cathode,
15 the electrolyte and the separator. And currently,
16 there are dozens of companies investigating and doing R
17 and D on these different components.

18 And kind of fine-tuning different chemistries
19 and different makeups of these components can have
20 dramatic results and potential for improvement in the
21 performance of lithium ion batteries.

22 One kind of area that the CEC is most excited
23 about involves replacing the anode, which is one of the
24 critical elements, which is currently today mostly made
25 out of graphite, so carbon, and replacing this anode

1 with either silicon or with lithium metal.

2 And if this can be successfully done, you can
3 see in the graphic there, the potential for increases
4 in energy density is quite dramatic. So between kind
5 of what is state of the art today in the 200 to 250-
6 watt hour per kilogram area, we're looking at the
7 potential for almost doubling that energy density with
8 a lithium metal battery.

9 And energy density is particularly an
10 important metric when it comes to the performance of
11 lithium ion batteries, in that if we can really achieve
12 this high energy density, this means that for example,
13 if applied to an electric vehicle, this means greater
14 range and the ability to also have a vehicle with
15 extended range.

16 We're talking four to 500 miles potentially at
17 lower cost, because we'll also reduce the need for
18 overall amount of batteries in a vehicle. So there's
19 really great technical potential in this area.

20 However, of course, it's not simply as easy as just,
21 you know, replacing one element with another within the
22 battery -- next slide, please -- particularly with
23 silicon and lithium. There are pretty significant
24 technical challenges that have prevented wide scale
25 commercialization of these technologies, particularly

1 with silicon as it's exposed to lithium and the
2 electrolyte in the battery it has been shown to both
3 expand and contract during charging and discharging.

4 And with lithium, as the ions move from the
5 cathode and the anode and vice versa we have what's
6 called a kind of the sharp, one-dimensional, stalactite
7 type structures form called dendrites, and they have
8 the potential if left unchecked to kind of pierce that
9 separator which separates the two sides of the
10 batteries, and that can lead to failure.

11 And so what this really shows is that while
12 there is great potential for improving the performance
13 of batteries, there are a lot of technical challenges,
14 specifically with a lot of these batteries to have
15 enough longevity, enough the -- enough ability to
16 charge and discharge over a long period of time safely
17 that is preventing their wide scale adoption and
18 commercialization.

19 Next slide, please. So this is just a quick
20 snapshot. These are four companies that the CEC is
21 currently supporting to develop innovations to help
22 address some of these challenges I mentioned, and
23 really unlock the potential for these next generation
24 batteries.

25 So just very quickly, Sepion Technologies,

1 based in Emeryville, is developing a new membrane
2 separator. This is the portion that is in the middle
3 of the battery that separates the positive and the
4 negative portions of the battery.

5 They are -- they have demonstrated, again, a
6 very high energy density with their technology.

7 Cuberg, also based in the Bay Area, is developing a
8 liquid electrolyte to try to address this problem.
9 Cuberg, interestingly, was recently acquired by a
10 Swedish battery manufacturer, Northvolt.

11 And Cuberg is going to be kind of heading up
12 their R and D production line here in California, so
13 they have pretty exciting path to kind of increasing
14 their scale and commercialization here in California.

15 South Bay Technologies in San Diego is
16 developing a liquified gas electrolyte. The unique
17 aspect of their technology is that it opens up a really
18 wide range of operating temperatures for the batteries
19 using their technology.

20 And then lastly here, UNIGRID, also based in
21 the Bay Area, recently announced a partnership with LG
22 Chem, and they are developing a solid electrolyte for
23 use with silicon anodes. And you can see, they've been
24 able to demonstrate pretty high cycle life with their
25 technology.

1 So again, this is just a really brief
2 snapshot, but all of these companies are in active
3 projects with the CEC developing their technology, and
4 really driving towards larger and larger scales, so
5 that they can hopefully integrate their innovations
6 with the larger battery manufacturers so they get their
7 innovations out into the marketplace. But with that,
8 that concludes my presentation. I'll be happy to take
9 any questions you ask.

10 VICE CHAIR KELLEY: Thank you, Mr. Ng.

11 At this point I believe we're going to have --
12 okay, Elisabeth. You're helping me. So we're moving
13 on to the market overview before public comment?

14 MS. de JONG: Yes. So for this section we'll
15 have two presenters, followed by Commissioner Q&A,
16 followed by a couple more presentations, Q&A and then
17 public comment. And public comment comes after the
18 workshop.

19 VICE CHAIR KELLEY: Okay. Then Mr. Panayi,
20 are you prepared on Lithium Battery Market Overview?

21 MS. de JONG: Adam Panayi's presentation is a
22 recording. So Jordan, if you want to go ahead and
23 press play on that recording.

24 (Video Presentation by Adam Panayi is Played)

25 MR. PANAYI: My name is Adam Panayi. I'm the

1 Managing Director of Rho Motion, and today I'm going to
2 be speaking to you about some of the downstream demand
3 issues that will be affecting lithium and other raw
4 material demand with EVs and batteries moving forward.

5 But I'd say firstly, thank you very much to
6 the Lithium Valley Commission for having me to speak,
7 and my apologies for not being able to be with you in
8 person or live. Unfortunately, the travel restrictions
9 and the time difference to the UK make that very
10 difficult, but I'm very pleased to be able to present
11 this to you.

12 And also, at the end of the presentation I
13 provide my contact details. So please do get in touch
14 with any questions you have. A little note about Rho
15 Motion. If you're not familiar with us, we are a
16 research and consultancy house based in London.

17 We have a team now - it's grown over time, but
18 a team now of probably 15 core members, which a dozen
19 or so are here. We provide a membership, which is a
20 news platform and a video platform with Lexis analysis
21 on the EV battery's base, a multi-*54:45 subscription
22 reports, of which I'll speak about more in a moment,
23 our events and magazine, and also single client
24 advisory and sponsee (phonetic) work.

25 On the regular reporting side we have a series

1 of monthly assessments that cover battery chemistry
2 charging, battery energy, energy station storage. We
3 also provide a number of databases. We also do a
4 report on the motor side of the EV space, as well.

5 Our quality outlooks look at very much the
6 same thing, but just have a very long-term perspective,
7 rather than a -- more of a snapshot on a monthly level,
8 EV battery charging, energy station storage. We also
9 do some work on the hybrid electric side, as well.

10 And then we have a series of focus reports,
11 which are less regular, but are there for clients who
12 need to understand dynamics in the fuel cell market,
13 like mobility and the (indiscernible). So to get into
14 the presentation today I'm going to start by giving you
15 an update of where the EV market is so far in 2021, and
16 then talk a bit more about where we think we'll be
17 going in the future and why.

18 We will try and keep the focus on North
19 America, as well, because I know that's the core area
20 of interest for the listenership today. So just to
21 say, if you look at that chart on the right-side -- on
22 the left-hand side, rather, you'll see that we expect
23 sales to increase by 80 percent year-end in 2021 to
24 around 5.8 million vehicles.

25 That's globally, and for all vehicle classes.

1 That includes buses and coaches and some of the
2 commercial vehicle classes, as well. The reason for
3 this really is explained on the right-hand side chart,
4 which is the EV penetration rates for this year versus
5 the last.

6 The dark purple piece shows the increase onto
7 its (indiscernible) EV penetration rate in a growing
8 market, as well. So when we talk about penetration
9 rates we're talking about factory electric or plug-in
10 half-electric vehicle sales as a proportion of the
11 total vehicle market in a given country.

12 And as you had been aware, in 2020 total
13 vehicle sales fell quite dramatically, because of the
14 pandemic and some of the shutdowns that we saw last
15 year. They've come back strongly this year, about
16 eight percent half year and year globally.

17 But even within that context, factory electric
18 and plug-in hard electric vehicle sales have been
19 increasing. Looking down that list you see that the
20 top 10 or so places are European, and that's really
21 been a more recent phenomenon because of the CO2
22 legislation that's been brought into play last year
23 into this year. It's actually slightly more strict
24 this year.

25 You see China is a big player there. By

1 volume, China is the largest market in the world for a
2 single country. The European Union is catching up as a
3 whole block. And then quite near the bottom there
4 you'll see the US and Canada, a relatively low rate of
5 penetration at the moment. That is going to change
6 quite quickly in the coming years, as I'll explain
7 later.

8 Just looking at Europe, because it has been a
9 stand out performer in the last two years really,
10 what's been driving that, as I mentioned, is a CO2
11 standard that was -- started coming in last year, but
12 has really fully adopted this year.

13 It's a 95 grams per kilometer target, fleet
14 average emissions target that OEMs have to meet. There
15 are some exceptions, and in that table you'll see that
16 what the actual target is for each area and for some --
17 each of the bigger OEMs in Europe.

18 The actual final number is determined by the
19 types of vehicles you sell, but this -- you know --
20 (indiscernible) too much. And what you can see in the
21 chart below is the increase in group penetration for BV
22 and the HEV sales for many of the major automotive
23 groups in Europe, increasing dramatically again this
24 year versus last year.

25 And 2020 was a very big step up, as well. So

1 in 2019 these numbers were a lot lower, and I just
2 showed you the direction of travel and we're moving in.
3 The European Union is effectively debating a piece of
4 legislation now that would bring in such a strict in
5 Europe that it would effectively mean an outright ban
6 on internal combustion engine vehicles by 2035.

7 That legislation isn't passed yet, but even
8 the current rate of legislative progress is very, very
9 quick. Simply the US, specifically, you know,
10 everything changed when Biden/Harris administration
11 came into power earlier this year.

12 We've been keeping a bit of a watching brief
13 on some of the announcements that have come out, you
14 know, very bold, grand statements at the beginning, and
15 as they've worked their way through the Congress and
16 the House or Senate they get somewhat watered down.

17 But the plans are significant, 7½ billion to
18 aid the construction of charging points in the country,
19 7½ billion for new electric school buses, 6 billion for
20 battery material processing, manufacturing and
21 recycling.

22 Some -- the purchase incentives, they're
23 working their way through the houses. And also, EPA
24 legislation, which in some respects is harder to
25 mandate than some of these more short-term issues, but

1 there's stricter CO2 per mile legislation coming in
2 that will bring the US in line with Europe, if that
3 legislation does pass in the next year or so.

4 You've also got this 50 percent target by 2030
5 that the administration is bringing in. You know, we
6 speak with a lot of the OEMs in the US. Most of them
7 are pretty hopeful, frankly, with that number and it
8 does feel like a realistic number when you compare it
9 to what's happening elsewhere in the world.

10 So that 50 percent adoption target by 2030 we
11 think is very achievable for the US, and it's a massive
12 step forward from where we are, as I've shown you on
13 the previous -- previous slide. Just think about this,
14 again, at group level.

15 This is global numbers for the first half of
16 the year, and on the X axis what you have there is the
17 percentage of a group sales, battery, electrical, plug-
18 in hardware, so clearly, Tesla 100 percent. the --
19 that's why the 100 percent on the right-hand side
20 there.

21 And on the Y axis you have the volume of
22 vehicles sold by that group, BEV or PHEV. Where I used
23 to show this chart three or four years ago, or three
24 years ago, to the right of this chart with the
25 exception of Tesla was all dark purple.

1 So the dark purple bubbles are Chinese OEMs,
2 and way up to the left, less than 10 percent
3 penetration, much less than 10 percent penetration were
4 the European and North American groups. What you start
5 to see is that move across now.

6 Everybody is moving across to the right. The
7 level of penetration is going up significantly. What I
8 would say as a caveat to this is that in Europe
9 particularly, and those numbers I showed you earlier,
10 can be somewhat misleading, because roughly half the
11 market in Europe, for example, at the moment are plug-
12 in hybrid vehicles versus battery electric vehicles.

13 Whereas, in China it's more like 80 percent
14 battery electric, 20 percent plug-in hybrid. In the US
15 it's, again, about 75 percent or 80 percent battery
16 electric to plug-in hybrid, and that's mainly because
17 of the dominance of Tesla, who are clearly, purely BEV.

18 Just seeing that -- what this looks like
19 moving forward, what we've shown here is everyone
20 outside China of the majority area of the groups, I'll
21 just get the by region, this is slightly misleading,
22 because obviously, areas operate across regions in
23 different ways.

24 But this shows you some of the level of
25 commitment that's coming in the pipeline in terms of

1 investment for electrification. And as you'll see at
2 the very top there, three of the bigger US areas, the
3 North America areas, committing as much proportionately
4 to their size as the European counterparts.

5 So again, the direction of travel, regardless
6 of where you are in the world, is clear. Moving on to
7 about battery technology now. The focus of this will
8 be on where battery chemistries are going, maybe on the
9 cathode side because I'd imagine that's where these
10 sort of (indiscernible) interests are, and what this
11 might look like in the future.

12 So on the left-hand side there you have EV
13 battery demand by cathode chemistry or vehicle class.
14 This includes buses, and that's globally for 2019 to
15 2020, 2021, it's a proportionate chart just to show you
16 there.

17 The main story this year has really been a
18 return of LFP, in passenger car and light utility
19 vehicles. So really, what's been driving the LFP share
20 of the market in the last few years has been the bus
21 market in China almost exclusively, and that has got to
22 go away proportionately as the passenger and light duty
23 vehicle market started to increase, versus the bus
24 market elsewhere in the road.

25 But what you're seeing this year is the return

1 of the -- the being deployed explicitly in passenger
2 car and light duty vehicles, which is increasing that
3 share. Now, that matters because as we move forward
4 down to 2030 -- 2025 and 2030 and beyond, the passenger
5 car market is obviously a much larger volume market
6 than the bus market.

7 And if LFP is going to play a larger role in
8 that, then that's going to affect the chemical -- or
9 chemistry balance across the future of this market. It
10 looks like that will be the case. Now, the right-hand
11 side shows you the global share of LFP versus all the
12 other chemistries for 2020, versus 2021 year-to-date,
13 and adjusts for China in the chart below.

14 Now, the point I want to make here is that,
15 really, this LFP returning story is only in China at
16 the moment, but the reality is in this market where
17 China leads, the rest of the world follows.

18 Just to prove that point or just to
19 demonstrate that point at the time, what we have here
20 is different OEMs and the main battery strategy,
21 battery chemistry strategy across different parts of
22 their products offering.

23 So we have shown small, medium and large
24 vehicles moving left to right, but also, on the
25 vertical axis, as well, we've demonstrated that by, you

1 know, a typical pack size for those types of vehicles.

2 So smaller vehicles includes micro compacts.

3 Large vehicles includes SUVs and luxury sedans, for
4 example, moving from 30 to 100 kilowatt hours. These
5 are just rough guides. What you can see down in that
6 bottom left-hand corner, primarily, European and
7 Chinese OEMs, demonstrating that what I've said is that
8 they will use LFP in some of their smaller vehicles.

9 When you move to something like midrange, it
10 is -- again, this is mainly European and Chinese, but
11 you'll start to see nickel -- manganese chemistries,
12 which are to the exclusion of cobalt in many cases.
13 But in China you'll also see an LFP deployed and that
14 makes them more (phonetic) ready.

15 As you move up to the larger part of the
16 market, the majority of that market remains and will
17 remain nickel cobalt, manganese, because of the cathode
18 deployments. But a significant caveat to that is that
19 the Chinese are starting to deploy LFP in those larger
20 vehicles, and it remains to be seen whether that'll
21 start to be the case for the European and North
22 American OEMs as we move forward.

23 Mr. Musk himself has said that LFP could be
24 deployed in some of those larger vehicles for Tesla,
25 and in fact, in China the Model 3 is almost exclusively

1 LFP now from an 80 percent -- 85 percent LFP in terms
2 of the made in China Model 3 vehicles being sold there.

3 So the picture is rather more nuanced than
4 perhaps it first appears, but one of the things I'll
5 say is when you get up to that right-hand side of the
6 chart with larger vehicles the battery sizes are an
7 average three times the size of the smaller vehicles
8 down in the left-hand corner.

9 So in terms of battery deployment and then raw
10 material demand, that does have a big difference. So
11 you know, in unit terms LFP might be -- might end up,
12 you know, on parity with NCM, because of the number of
13 units sold, but in terms of battery deployment it
14 remains the case that NCM will likely be larger in
15 terms of the overall share.

16 Okay. Just to really reiterate and point out
17 where the Chinese are going and how that might affect
18 the rest of the world, you might bear in mind that a
19 lot of European OEMs and North American OEMs have tie-
20 ups in China for collection there, because some of the
21 rulings around how you can produce vehicles in China
22 are -- have required a Chinese partner in the past.
23 It's changing somewhat now.

24 And there is a lot of lobbying across from
25 China to the western (indiscernible) back again. But

1 just to show you here that, you know, that the range of
2 cathode technologies being deployed in China is much
3 richer than it is in the western world at the moment,
4 and the LFP shares, you can see, show roughly in the
5 middle of the market -- of the chart there, crosses
6 more boundaries in terms of the types of vehicles it's
7 being deployed in.

8 Just want to speak to, as well, about another
9 area that we're paying a lot of attention to, which is
10 ESS and the grid. ESS is energy/restorage, and we see
11 this as a key enabling technology, both for the EV
12 transition around charging, because you are going to
13 need some backup storage for charging networks,
14 especially as we move to higher speed charging along
15 highway, but more generally, around renewables and
16 decarbonizing the grid.

17 Now, the point here is as with the EV market
18 is that well, actually, all of your forward momentum in
19 this market is created by legislation, and what you can
20 see here is some of the decarbonization targets and
21 renewables targets have been set by various countries
22 around the world.

23 Won't dwell on this for too long, but really,
24 again, the main message is that the direction of travel
25 is very much towards renewable energy, and if you have

1 renewable energy then you're going to need battery
2 storage at sites, at a project to support that, because
3 otherwise it's really just not going to work.

4 So what we do is we track every project as it
5 comes through with county tracking over 2,000
6 renewables projects, 1:09:19 projects, and these are
7 some of the bigger ones. And actually, a thing to say
8 here from the perspective of this audience is that, and
9 particularly in California, but also elsewhere in the
10 states, there's been some of the largest projects and
11 largest batteries ever installed currently in the area
12 that you all live in.

13 So this is a global phenomenon, and it's one
14 that's going to pick up pace over time, and I'm going
15 to show you some numbers that will reflect that
16 momentarily. So what it shows you here is that we have
17 done a quick analysis, really, looking at the rate of
18 growth in the test market versus the EV market to give
19 you a sense of how interested you should be in it from
20 a battery point of view.

21 So currently -- this is global -- currently,
22 the amount of projects for lithium ion storage to
23 support renewables at a grid level equivalent to about
24 675,000 EVs. That's against a market that's roughly
25 5.8 million, as I mentioned.

1 So we're talking about 10 percent of EV demand
2 announced to support grid operations. The other key
3 thing to remember about the ESS market is the behind
4 the meter B2M (phonetic), behind the meter, which is to
5 support industrial activity, off grid, to support
6 domestic activity, you know, where people have solar
7 power -- panels and whatever else, you know, domestic
8 sort of stuff is, for the charging piece, as I
9 described earlier, and a number of other backup and 5G
10 applications, as well, there's a significant amount of
11 that.

12 And we expect behind the meter by 2030 to be
13 at least parity with the grid deployment, and moving
14 forward ever so slightly more than that. So we're
15 looking out to 2030 and 2040 in the chart below, and
16 what you can see is that by 2030 we're expecting this
17 to be equivalent of about 4.1 million EVs in terms of
18 the battery deployment, both behind the meter and grid
19 applications, and then by 2040 it's roughly 13.4
20 million EV equivalent, based on average pack sizes
21 looking forward.

22 So you know, not to be ignored and also, like
23 I said, a significant amount of this activity now is
24 happening in California and elsewhere in the states, so
25 something to bear in mind. That's a bit of a

1 whistlestop tour of our thinking currently on the
2 market.

3 Again, apologies for not being able to be with
4 you in person or live, as well. I am available to
5 contact, it's apanayi@rhomotion.com. If you like this
6 sort of thing you can also follow us at Twitter -- on
7 Twitter, rather, @RhoMotion or on LinkedIn, as well.

8 We post interesting pieces of data and
9 analysis on both of those platforms. But feel free to
10 get in touch, and thank you for listening and enjoy the
11 rest of the meeting.

12 VICE CHAIR KELLEY: Thank you, Mr. Panayi.
13 Our next presentation is Mr. Perks.

14 MR. PERKS: Hi, everyone. I'm a senior
15 analyst here at Benchmark Minerals, and I'm primarily
16 interested in the lithium market. Just for context,
17 Benchmark we look at everything to do with the whole EV
18 supply chain, so primarily focus on the battery cells
19 and those components which go into it that Adam covered
20 lastly in some previous talks, the cathode and the
21 anode, and also those primary minerals, which I
22 personally am more interested in.

23 At Benchmark we do price-assessments. So we
24 look at the price of those materials in the market
25 every month. So we're talking to people in the market

1 and we're writing reports on what's happening in terms
2 of pricing the market.

3 But we're also forecasting pricing, supply,
4 demand, how it all relates to each other. We're
5 tracking the cathode and anode build out here, in
6 China, in North America. We consulting advising firms
7 all the way through the supply chain from the mine
8 through to the EV companies themselves.

9 And a big part of our business is events, and
10 so there's a fair bit of online free material that you
11 can pick up on our website, as well. So in tracking us
12 on social media you'll get a lot of free information,
13 particularly around the lithium supply chain.

14 Why are we talking about lithium? Well,
15 lithium five years ago or so was primarily driven by
16 industrial end uses, glass and ceramics and things like
17 that to making tiles and things like that. So within
18 the next five or six years the lithium market did a
19 complete 180 degree turn, and now we're looking at it
20 being driven mostly by batteries, and specifically
21 batteries in EVs.

22 So if we're looking forward we're thinking --
23 our thinking is that it will continue that trend
24 onwards. But sticking to where we are today and what
25 those basic factors that are driving the industry

1 forward, the influencing factors are, and as others
2 have alluded to, government policy and investment, but
3 also macro demographic changes from people driving
4 investments in EVs, as I mentioned, EVs and the
5 batteries that go into them.

6 The resulting demand, as you can see on the
7 right, we track battery mega factories, as we call
8 them, or factories that produce batteries. We're
9 looking at something like 240 mega factories currently
10 in the pipeline.

11 That's up from something like 10 just a few
12 years ago. So the industry's really picked up. And of
13 course, also mentioned, lithium is used primarily in a
14 cathode, and you'll notice that in terms of our cathode
15 capacity tracking, construction and planning, and
16 existing, most of the capacity is in China.

17 I think that's an important point to note for
18 -- I'm sorry. Next slide, please. I'm so used to
19 clicking through my own slides when I'm reading my
20 notes. If we could get the next slide, please. Oh.
21 So that's -- this is the -- how the demand for
22 batteries is playing out, versus industrial end uses,
23 but it's going back to the earlier point I had.

24 And then the next slide, please. Looking at
25 the influencing factors, you'll see the 242 number

1 there on the right, and maybe just draw your eye down
2 to the graph, bottom right, where primarily the color
3 there is China.

4 Huge numbers; that's the bottom line. I don't
5 expect anyone to remember those numbers, but big
6 numbers. And most of -- some of these are free on our
7 website, again. So next slide, please. I'll keep up
8 with this.

9 This has resulted in what we're forecasting as
10 a large deficit in demand in terms of supply. If no
11 projects were to come on line between now and 2030 or
12 2040, we'd be looking at a deficit or a lack of supply
13 greater than the entire market is today.

14 This is unlikely to happen. We're going to
15 have mines come online all around the world. What we
16 do is we forecast supply and we weight it by likelihood
17 of a project coming online. By doing so, there is
18 still a deficit.

19 There's still a big gap in supply, considering
20 how fast this demand market is growing. We run lots of
21 different scenarios where we can play with the
22 likelihood of projects coming online and still, by 2030
23 we need as much lithium as we can.

24 The bottom line here is that we need as much
25 of it as we can possibly get our hands on, which is why

1 Lithium Valley is being talked about. So we'll go to
2 next slide, please. Currently, in terms of pricing
3 we're seeing 100 percent increase year-to-date in
4 prices, if you look at historical prices.

5 If you look at the last few years we've had
6 quite low pricing in terms of lithium. This has meant
7 the way of actually seeing less investment in the
8 mining industry, and you need a few years at least to
9 build a lithium ion -- lithium refining capacity.

10 So we would have need to have seen investment
11 a few years ago or a could years ago, which we didn't
12 see. So we're seeing a kind of shortage today. We
13 might be seeing some more investment coming online
14 today.

15 So we might see a bigger build out of supply
16 in the coming few years. so we do see lithium prices
17 increasing, but not exponentially. They're not going
18 to continue linearly going up. There will be a point
19 where economics come into play, as well.

20 But besides that, where is the lithium going
21 to come from? It will need to come from somewhere. I
22 mentioned costs, costs and economics, of course. Next
23 slide, please. The cost and economics of the lithium
24 being produced is primarily -- of primary importance.

25 There is lithium coming out of Australia, as

1 we know, China, South America, also North America, but
2 potentially of primary interest to this audience is, is
3 the supply chain security benefits that you'll get of
4 producing lithium in North America; also, USG
5 considerations, the transparency you get with producing
6 any minerals within the US

7 Next slide, please. And then finally, the --
8 a few conclusions to draw from all of that. The
9 scaling of the supply chain in quality and quantity is
10 the challenge. So I mentioned that the quantity of
11 lithium and the scaling of that is the main challenge
12 for the industry.

13 But it's also the quality. That takes
14 multiple years to mine a product for lithium, qualify
15 it for use in battery and in the downstream. Large
16 technical challenges come with that, and having
17 technical expertise, having that expertise in country
18 or in your -- in that area, currently China.

19 That's where a lot of their advantages come
20 from, having a lot of that technical expertise in the
21 geographical location. That's the biggest and one of
22 the biggest challenges that we talk to companies about
23 who want to invest in the supply chain or build out the
24 supply chain in North America, where are you going to
25 get the experts.

1 The slowest link in the chain is starved of
2 investment. I talked about the starvation of
3 investment in mining, but what maybe I didn't mention
4 was that the fact that it takes at least five to 10
5 years to build a mine, going through the process of
6 proper environmental regulation, particularly in a
7 country like the US or Canada, Australia, where that
8 process can take quite some time to get it right.

9 And it's important to get it right. The EV
10 revolution, as I -- as we're calling it, will likely be
11 slower going forward if we don't -- at least if we
12 don't see the lithium supply come online. That we've
13 currently forecast, we don't see those projects.

14 Now, online projects will -- which will
15 potentially come online to fill that gap, but it's one
16 or the other. Either we don't hit the demand, we don't
17 hit the EV revolution as fast as we want it to be
18 happening, or supply will rise to meet the demand.

19 There is no geological shortage of any key
20 input. There's no geological -- there's lithium. It's
21 down to the financing of those projects. And also,
22 there is credentials increasingly, particularly if you
23 look at who's buying the lithium, and that's EV
24 producers, and why are they buying -- why are they
25 building EVs emissions reductions targets, for example.

1 Our analysis has determined that the future
2 battery technology will be lithium-based. Adam spoke a
3 lot about battery technology, so I won't delve too
4 deep. We've also learned, and of course, and we all
5 know the lithium ion batteries are now political.

6 It's part of Biden's supply chain commitments,
7 and global emissions reduction targets are closely
8 attached to lithium ion battery, the lithium ion
9 economy. We're calling it the economy, because it's
10 build out from mine all the way through to the EV.

11 Now, this is the last point and I'm hammered
12 at it multiple times, I think because it's important
13 and particularly relevant for this audience, that
14 future supply will need to consider other factors, such
15 as ASJ emissions, water impacts, social impacts.

16 And the next slide, please. I'll just leave
17 it there and to remind you of what we are able to do,
18 and my email address up there, as well, in case anybody
19 had any questions after the presentation, after this.
20 Thank you.

21 VICE CHAIR KELLEY: Thank you, Mr. Perks. At
22 this time we'll open up the Commissioners question and
23 answer for the panel, Mr. McKinney, Mr. Ng and Mr.
24 Perks.

25 MS. de JONG: He has a hand raised from

1 Commissioner Weisgall.

2 VICE CHAIR KELLEY: Commissioner Weisgall.

3 COMMISSIONER WEISGALL: Thanks. I guess this
4 would be a question for Cameron Perks. Obviously, our
5 Commission is looking at issues beyond lithium. We're
6 looking at the full supply chain.

7 So assume you're an EV manufacturer or an
8 anode manufacturer, some other company in the supply
9 chain and you're looking to build your facility. What
10 do you look at? You obviously look at the business
11 environment of the location.

12 You look at I guess possible economic or tax
13 benefits. You look at workforce. You look at quality
14 of life, whole list of factors. The question I have is
15 what does the proximity of the raw material, i.e., the
16 lithium in Imperial -- in Lithium Valley, what -- how
17 does the proximity of the raw material move the needle,
18 or does it move the needle at all?

19 And I guess the followup question is,
20 regardless of whether you answer that yes or no, what
21 steps could you recommend this Commission looking at to
22 encourage greater supply chain location, given the fact
23 that Lithium Valley is moving in the direction it is?

24 MR. PERKS: Thanks. That's -- they're all
25 good questions and questions that we get from people

1 who are looking to invest in the industry themselves.
2 Some of these people don't understand what they should
3 be -- the right question to be asking.

4 So I think the question itself is a good one.
5 But of course, yes, location related to tax incentives
6 and potential land understanding and the visibility
7 around those tax and those laws or those -- the process
8 to apply for grants and things like that are very
9 important to the people we speak to.

10 And you mentioned all those things; you
11 alluded to those. I think the ability to source a
12 clean energy -- because again, the overall's schematic
13 here is the reduction of emissions and to access those
14 clean energy materials.

15 Another factor, of course, when we look at the
16 traditional way things are built, and that's the
17 battery, usually the location of the battery plant
18 comes first in a sense of where there is demand for
19 that and potential cost benefits.

20 Then the cathode, they ask the cathode
21 manufacturer to build a cathode plant, and a cathode
22 plant nearby and the cathode takes multiple raw
23 materials. So other things they're looking for are the
24 -- is there nickel present. Is there -- or in that
25 location, potentially, cobalt, manganese.

1 Do you have all these raw materials and then
2 are you able to -- and in terms of proximity to the
3 mine, not generally. The cathode manufacturers don't
4 really take into account where the mine site is. And
5 you know, the most important thing for cathode
6 production is the technical expertise and the build out
7 there, really, and that's concentrated in China, South
8 Korea and Japan.

9 And a lot of that is IP at the same time. So
10 you need to partner with a lot of the existing firms.
11 There aren't many. There aren't many located in North
12 America, but there are many looking.

13 Those would be the main points. I'm trying to
14 -- and emission -- in terms of emissions and proximity
15 you don't generally see a huge impact on emissions in
16 terms of the mine location, having to ship it to, say,
17 China or North America.

18 That's not really where the biggest impacts
19 are being made. The biggest impacts are in -- usually
20 in when there's high heat and high temperature being
21 used in processing. So for example, if you had a
22 spodumene mine and then you had to refine it and you
23 have to use high temperature processing, a lot of
24 emissions, that's where the biggest impact is.

25 So you could have a mine right next door to

1 the refinery, right next to the cathode, and in terms
2 of moving it, not going to make a big difference.
3 There may be other -- and I may be getting too technical
4 -- and there may be other advantages for co-location of
5 cathode.

6 You can recycle the lithium back into the
7 process or something like that. Then you could refine
8 it. So you'd have that refinery capability there.
9 Having things close by. There may be other benefits
10 potentially.

11 What could be done to incentivize that whole
12 supply chain. Looking to California, and what we'd say
13 to other clients is, it's huge. It's a huge range and
14 we usually do hundreds of slide decks on this question,
15 this one question, looking at what kind of incentives
16 they could provide, how clear they could be on making
17 those incentives known, how they could engage, how they
18 could play match maker with investors and the
19 technology providers.

20 You know, I can be more specific if you like,
21 potentially in a -- maybe in a written form.

22 COMMISSIONER WEISGALL: No. That's a terrific
23 answer, and I -- obviously, it is a very broad
24 question. We use your service, by the way. It's a
25 terrific one.

1 MR. PERKS: Thank you.

2 COMMISSIONER WEISGALL: And perhaps I'll
3 follow up off line. But Ryan, I think -- I mean, this
4 is really one of the critical questions we're looking
5 at. And frankly, you know, understand our company's
6 perspective.

7 Our goal is to produce the lithium. It's not
8 -- I mean, you know, if there are opportunities down
9 the supply chain, sure, we would look at that. But
10 it's going to be a -- you know -- a heck of a challenge
11 just to get the lithium going.

12 But I know that others and the Commission
13 itself clearly -- you know -- if all we accomplish here
14 is producing battery grade lithium in Imperial Valley
15 and then everything goes overseas for manufacturing, we
16 haven't really accomplished all that much.

17 So I think there is a strong desire, I
18 certainly have it, just for the overall lithium
19 industry to see what more we can do to attract the rest
20 of that supply chain. Thanks, Cameron.

21 MR. PERKS: Thanks.

22 VICE CHAIR KELLEY: Do we have any other
23 Commissioner questions?

24 MS. de JONG: There's a hand raised from
25 Commissioner Olmedo.

1 VICE CHAIR KELLEY: Commissioner Olmedo.

2 COMMISSIONER OLMEDO: Thank you, Chairman.

3 Cameron, great presentation. Actually, I take
4 the opportunity to say how the presentation has been
5 very informational, and now I need to take a deep dive
6 and start breaking down all these -- start doing a lot
7 of Googling to understand all the terminology.

8 But I was -- found a interesting difference
9 over the -- in reading a report titled Lithium Ion
10 Battery Supply Chain Technology, Development and
11 Investment Opportunities, which looks like it was put
12 together by Benchmark Mineral Intelligence.

13 This was published in 2020, and Benchmark at
14 that time did not seem to have -- or be identifying the
15 US, much less the Imperial Valley, as any significant
16 player in the lithium production. Did I interpret that
17 accurately, and if so, what has changed in the last
18 year to what seems a more optimistic outlook?

19 Again, that's just my observation in today's
20 presentation and what I see from this previous report
21 that Benchmark had done.

22 MR. PERKS: Yeah, okay. No. It's a good
23 question and it's something that potentially I could
24 ask -- I could answer halfway, because I was with
25 Benchmark up till the -- I began working for Benchmark

1 at the beginning of this year.

2 So I'm not familiar potentially with the
3 report, although it makes sense in a sense that the --
4 if the demand scenarios were predicted to be different
5 back then, potentially -- and look, we only can go on
6 what data is available.

7 If we can go by -- oh, yeah. Thanks. I see
8 there's a link here to the report. Okay. We can only
9 go by what the data is at the time. So if there's only
10 one project, just as an example, if there was only one
11 project in North America at that time, that's the only
12 project that we'll pop into the forecast.

13 In saying that -- and there is a lot of
14 geological potential for lithium in the USA. There was
15 hard rock lithium mining in the US. There's currently
16 brine extraction in the US. already.

17 In Canada there was previously hard rock
18 lithium extraction. Potentially, what that report was
19 talking about there and what were found in North
20 America at least, two problems. One would be that
21 there's a NIMBY attitude, or there's a "not in my back
22 yard" attitude where we want the EVs.

23 We want the global supply chain to be
24 transparent, USG friendly, but we don't want it to be
25 in our back yard. But frankly, the US is in the best

1 position to mine minerals because they have the best
2 transparency.

3 They have the best regulation. Besides that,
4 North American projects have in the past tended to be
5 higher cost production and to affiliate. We saw that
6 in Canada, but there's nothing that can't be overcome
7 by good management, just like the environmental side of
8 things, too.

9 So I can't exactly speak or maybe later we
10 could get in touch and I could have a look at that
11 report and see exactly why we were talking about a very
12 low potential in the US for lithium production, but
13 that -- those are the two main things that I could
14 possibly think of, is potentially higher costs and, you
15 know, historically, historically, of course, and
16 potentially a "not in my back yard" attitude.

17 But there is a big obvious load of lithium.
18 There's a big potential for lithium production in the
19 USA., of course.

20 COMMISSIONER OLMEDO: Thank you.

21 MS. de JONG: You have a hand raised from
22 Commissioner Colwell.

23 COMMISSIONER COLWELL: Yeah. I guess this is
24 more of a generalization on why - thank you, Cameron.
25 You're taking all the questions here. But maybe for

1 all the presenters, I mean, you know, just you know,
2 firstly, this is not mine.

3 So just for the -- just to get that out of the
4 way straight up. I mean, these 10-year projects, I'm
5 very familiar with it, mining in Australia and hard
6 rock and things like that. This is -- you know --
7 really recovery from brines.

8 And I guess, you know, these projects can sort
9 of scale up what you need about these and scale up with
10 demand in a 20-month period, you know, assuming all
11 things equal. But what I really wanted to sort of ask
12 about all the presenters, the importance of the life
13 cycle analysis, proper analysis.

14 So what that means, what we're on here like
15 Commissioner Olmedo, his points and others, is the
16 social aspect of recovery and the sort of that side and
17 how important that is to the -- you know -- all our
18 sectors in the OEMs in their procurement strategies,
19 followed closely and linked closely to ESG, because I
20 think we can meet -- you know -- the Imperial Valley
21 really has this opportunity to be able to hit those
22 points on point.

23 But I just wanted to understand from the
24 presenters how important real life cycle analysis,
25 taking on board the social aspects, as well as the ESG.

1 Thank you.

2 MR. PERKS: Yeah. Rod, I think it's a good
3 question and I could -- if I could answer first, I
4 think Benchmark actually just today announced that we'd
5 be -- we're -- announced an ESG arm to our company and
6 we do life cycle analyses for companies, mining
7 companies and other companies.

8 Yeah. I'm in aggreance [sic] with the term,
9 mining. It's one I just say because I'm used to the
10 term. Like brine extraction and brine evaporation
11 ponds or direct lithium extraction, they're all
12 different and potentially not mining at all, and yet
13 there's a lot of -- potentially around that word
14 itself, a lot of emotion.

15 And so it's a good distinction to be made, and
16 of course, now, the last thing I'll say is that the
17 conversations with have with the clients that we talk
18 to in the OEM stage are really interested in those LCAs
19 (phonetic). They're really interested in the ESG
20 credentials of a project, and potentially, investments
21 -- well, I know invest -- I've had those conversations
22 -- I know investments are made almost primarily just on
23 the ESG credentials of a project.

24 MR. NG: Yeah, Commissioner, I'll just add
25 from the Energy Commission's research portfolio, we

1 haven't historically done very much like kind of life
2 cycle analysis specifically towards batteries of EVs or
3 lithium ion.

4 But I will say we are focusing more attention,
5 especially on kind of after, you know, second -- we'll
6 call it second life use or end of life use for
7 batteries and the potential for either continued life
8 outside of a vehicle or a responsible kind of recycling
9 methods, you know, with the expectation that the
10 increase in demand for the batteries is going to have
11 this kind of follow on effect, you know, of years down
12 the line that we're going to have a lot of batteries
13 that need to -- you know -- we need to do something
14 with responsibly.

15 And so that is an increasing area of research
16 that we are starting to invest a little bit more in, in
17 the next several years, about understanding kind of
18 technologies and solutions to address the second use
19 and recycling opportunities.

20 COMMISSIONER McKINNEY: And if I can add to
21 what Anthony just said. You know, the Air Resources
22 Board manages the low carbon fuel standard, and they
23 are now quite adept at running LCAs and carboning
24 missions through the full supply chain for fuels, and I
25 can see batteries getting incorporated into that at

1 some point in the future.

2 COMMISSIONER COLWELL: Well, thank you, Jim.
3 I guess my question was aimed at, you know, with the
4 panel that's more on the S part of ESG. So
5 environmental, yep, we get it. There's a lot of
6 emphasis on that on the social side of our procurement
7 decisions, you know, that how much of a bearing that
8 has, is there a real measure for that.

9 I think that was where Commissioner Olmedo was
10 heading, and you know, we're just as curious if there's
11 any weight, you know, in those decision processes to
12 the social justice side of procurement.

13 VICE CHAIR KELLEY: Are there any other
14 questions, comments?

15 So I have one that I -- this may be for Mr. Ng
16 or Mr. Perks. this is in regards to -- from your
17 presentations -- the development -- I'm not sure which
18 presentation it had, but you had 23 mega factories for
19 battery production on the list now, and that increase.

20 Where's the predominant -- in North America
21 where is that development focused at?

22 MR. PERKS: I think that was -- might have
23 been -- well, I know in my presentation I had 242 mega
24 factories in the pipeline that we were currently
25 tracking. My remembrance of most of them, besides

1 Tesla being down there in the southwest -- if I can
2 remember my geography -- the US, most of those mega
3 factories that we're looking at, the north, northeast,
4 so the Ohio corner up there where there's traditional
5 glass manufacturing, and of course, close to the mining
6 centers up there in Canada.

7 So nickel production is obviously a big one up
8 there, but not a terrible lot of -- because there isn't
9 -- there's a fair bit of lithium up in Canada, of
10 course, but not in the US area.

11 VICE CHAIR KELLEY: Mr. Ng.

12 MR. NG: Yeah, the -- so I guess that sense of
13 scale is a little bit outside of the scope of the
14 research that we fund, the companies that we work with
15 here in California are much earlier stages than the
16 facilities that Cameron is talking about.

17 I will say, I think, the -- one of the
18 prospects of the innovations that we're funding is to
19 partner with the larger manufacturers and the OEMs as a
20 means to get innovations out into a larger scale,
21 right.

22 The companies that we're working with are
23 developing really interesting science and they have a
24 lot of potential, but then by themselves they're
25 relatively small companies, they're startups, and so

1 they -- their prospects for scaling their innovation
2 isn't to build the giga factory themselves.

3 It's more realistic that they partner with an
4 OEM so that they can then incorporate their innovation
5 into these upcoming facilities, so that, you know, the
6 benefits of their innovation can be more spread widely.

7 VICE CHAIR KELLEY: And a follow up, Mr. Ng,
8 is that there was a recent article that was -- I can't
9 recall if it was national or if it was regional --
10 about the location of battery firms relocating into the
11 Orange County area, into the Los Angeles County area.

12 And most of those are startups and small, but
13 that focus, do you see that -- a center of gravity
14 happening around battery research and development?

15 MR. NG: Yeah, most definitely. I mean,
16 between the Bay Area and the L.A. region we've seen a
17 lot of activity, just from the -- you know -- we fund a
18 good number of them, I'd say kind of maybe, you know, a
19 dozen or so companies and they're spread throughout.

20 But I think in the research and the literature
21 that we are seeing that, you know, California
22 definitely gets I think over 50 percent of the venture
23 capital funding for clean tech comes to California, and
24 batteries are -- it's a hot item right now.

25 You know, there's a lot of battery activities,

1 a lot of battery startups. You know, not a lot of
2 companies have really nailed it in terms of the
3 technical performance. So I think, you know, there's a
4 lot of companies springing up to see if they have the -
5 - You know -- the answer to the challenges, right.

6 So yeah, we're seeing a lot of activities in
7 the startup space, particularly in the Bay Area and
8 also in the L.A. region, yeah, focused on battery,
9 battery research.

10 VICE CHAIR KELLEY: Thank you.

11 MS. de JONG: You have a hand raised,
12 Commissioner Olmedo.

13 VICE CHAIR KELLEY: Mr. Olmedo.

14 COMMISSIONER OLMEDO: Yeah. Thank you. This
15 question to Mr. Ng. I've had an opportunity to serve
16 on startup funders and provide equity advice, and one
17 thing that really catches my attention there is that
18 they're -- although they're startup funders looking at
19 funding a clean-tech type of projects, they pay special
20 attention to make sure that the projects that they are
21 essentially funding, that they have an equity
22 component.

23 Sometimes, they co-benefit to disadvantages
24 communities and so on, and I'm just wondering if in
25 your model has the Commission built that in?

1 MR. NG: Yeah, definitely so. So kind of
2 speaking broadly, not just related to battery research,
3 but more broadly speaking, our research and development
4 program, the largest program is our Electric Program
5 Investment Charge.

6 And absolutely one of the equity. And the
7 priority to insure that disadvantaged and low income
8 and under-resourced communities are able to benefit
9 from the investments that we are making is definitely a
10 priority for the program.

11 And just as an example, a significant portion
12 of our program funds a kind of technology demonstration
13 and deployment projects. So these are kind of real
14 world demonstrations at a real world location of
15 innovative technologies.

16 And so legislatively, we have a requirement
17 that a certain portion of that funding goes towards
18 communities in either disadvantage or low income. You
19 know, we treat that as the absolutely bare minimum,
20 right.

21 And so we have baked into the program
22 significant criteria to insure that, you know, when
23 these projects are proposed to us that we require the
24 applicants, for example, to insure that a community-
25 based organization is part of the project team at the

1 point of proposal, so that we know that this is
2 something that the project team has, you know, engaged
3 with local community members, that this is a project
4 that the community wants, that it's not, you know, just
5 an outsider coming in with a new technology to kind of,
6 you know, force it onto a community, right.

7 So that's just one example of the way we've
8 integrated kind of equity and including of priorities
9 into the program. I know Danny Kennedy here is later
10 on in the program, and I think he's going to be talking
11 a little bit about the CalSEED Program, which we are in
12 partnership with New Energy Nexus, and that is focused
13 on really early stage investments in really kind of,
14 you know, high potential concepts, and that has equity
15 and inclusion as a core function of that program, as
16 well.

17 So I know Danny will talk a little bit more
18 about that. But to answer the question, yes. You
19 know, kind of the priority at the CEC is to absolutely
20 insure that equity inclusion and insuring that benefits
21 are spread out to the under-resourced communities is
22 part of our mission here.

23 COMMISSIONER OLMEDO: All right. Thank you,
24 Mr. Ng, and that's pretty consistent with what I've
25 seen and I appreciate hearing that this is certainly

1 something that the Commission practices. And while
2 there's always room for more, you know, and for better
3 models, I'm just glad that you are explaining it to me.

4 And what I've seen and what I have really seen
5 is beneficial and that the Commission is right on
6 target with those types of expectations. So thank you.

7 MR. NG: Okay. Thank you.

8 VICE CHAIR KELLEY: Elisabeth, are there any
9 other Commissioner questions?

10 MS. de JONG: I do not see any hands raised at
11 this time.

12 VICE CHAIR KELLEY: Okay. Then we will open
13 the public comment section, Elisabeth.

14 MS. de JONG: So right after the Commissioner
15 Q&A here we were planning to go directly into the next
16 set of speakers before going to public comment at the
17 end of the workshop.

18 VICE CHAIR KELLEY: Okay.

19 MS. de JONG: That's your decision, and also
20 up to you if you want to call break at any time.
21 That's not built into the Agenda, but that is your
22 option if you'd like.

23 VICE CHAIR KELLEY: I would like to take a 15-
24 minute break. And I would -- I want to thank the first
25 part of our workshop, and if we can return back at 3:40

1 and resume the presentation and workshop.

2 (Off the record at 3:22 p.m., until 3:40 p.m.)

3 VICE CHAIR KELLEY: Welcome back, everyone.

4 We're continuing with the workshop, and our second
5 panel will be on Mr. Kennedy from New Energy Nexus and
6 President of CalCharge, and Meg Slattery from UC Davis
7 and Lawrence Berkeley, the National Lab.

8 Mr. Kennedy are you prepared or ready to make
9 your presentation?

10 MS. de JONG: If I can jump in. Actually,
11 Commissioner Dolega does have an announcement at least
12 to make. So if we could go to him first.

13 VICE CHAIR KELLEY: Oh, very good.
14 Commissioner Dolega.

15 COMMISSIONER DOLEGA: Sure. Well, not so much
16 an announcement, but I'm sure that everybody's seen the
17 news with Ford's announcement with the investment in
18 the new vehicle operations and giga factories that are
19 going up in Tennessee and Kentucky.

20 So that announcement was made the other day
21 with 129 gigawatt hours. So that investment being
22 roughly about \$11 billion being made jointly between
23 Ford and SK (phonetic) to bring battery manufacturing
24 here.

25 I thought maybe I could offer just some

1 perspective on what we can -- You know -- how the
2 lithium sector, how we view that and how that impacts
3 either certain decisions that we make or how we look at
4 securing our lithium sources going forward.

5 I think Jonathan and Cameron kind of talked to
6 this a little bit, and so I can expand on that and
7 probably just answer questions towards the end when
8 those come up. But I think I wanted to point out or
9 reemphasize where lithium plays and where we view the
10 ecosystem for lithium from a purchasing perspective.

11 So for the OEM, the mining sector is more or
12 less a Tier 5, Tier 4 activity. What we have been
13 currently doing is making sure that our value chains
14 are transparent with mine side audits that are led by
15 our ESG team.

16 We also have announced that Ford would be part
17 of IRMA, which is one of the leading criteria for
18 mining activities. So we take the ESG angle very
19 seriously, as was mentioned earlier in the previous
20 panel.

21 From the lithium perspective, the important
22 piece I think it's important for the Commissioners to
23 consider is that between the miners and the OEMs and
24 the battery makers we do have the cathode piece, and as
25 was mentioned earlier, that primarily resides currently

1 in Asia.

2 So as we look to develop a larger ecosystem
3 here it is going to be really important that the
4 cathode material, the cathode activity comes to the US
5 from -- how that impacts the decision-making process
6 about potential co-location.

7 I think it's important to keep in mind on the
8 cathode side you do have the nickel cobalt, manganese,
9 precursor element, and as well as the lithium that get
10 combined at that process. So from a decision matrix
11 where the materials are being pulled to and from, from
12 a logistic, cost perspective that was kind of the idea
13 for the Imperial Valley to have cathode co-located.

14 From a cost economic analysis, you are going
15 to have some of that logistic cost being transferred to
16 the other side of the cost structure. So you'd have to
17 be importing nickel cobalt in to be combined with the
18 lithium at the cathode step.

19 So there is a bit of a potential wash in that
20 perspective. Of course, there are potential other
21 opportunities, but in terms of the overall decision,
22 that becomes a pretty -- the benefit for co-location
23 may not be as clear.

24 So I'll pause there, because I do not have the
25 presentation that I could share, given the restrictions

1 here, but I would welcome any questions about the
2 overall industry and how we view the sourcing of
3 lithium going forward.

4 VICE CHAIR KELLEY: Very good. Thank you. So
5 Commissioner, you'll be available in the panel, as
6 well, to answer the questions?

7 COMMISSIONER DOLEGA: Yeah. I think I can --
8 it would probably be easier if we -- if I could answer
9 questions, if they're appropriate, but for sure. I
10 think long term, of course, we're looking to secure our
11 raw material fees, and we think North America can play
12 a role in that.

13 There is a role for other parts of the value
14 chain, however, that need to come first. You know, I
15 think to Jonathan's point, shipping lithium overseas to
16 be made into cathode that we would then ship back is
17 not exactly the most efficient route that we would like
18 to take.

19 So we're exploring the options to make sure
20 that if the mining sector or the extraction sector, as
21 Rod was saying earlier, because it's not really mining.
22 If they do get localized here we want to make sure that
23 it's an integrated supply line that can go from mine to
24 battery to EV here in North America.

25 VICE CHAIR KELLEY: Very good. Thank you,

1 Commissioner.

2 Then we'll move on to Mr. Kennedy. Are you
3 ready for your presentation?

4 MR. KENNEDY: Yes, I am, and thank you very
5 much, Vice Chair Kelley and Commissioners. It's my
6 great honor to be here today. I've been talking about
7 Lithium Valley for a number of years, and just so
8 pleased to be presenting to you all.

9 I've been following the Blue Ribbon Commission
10 since it started, and I think it's wonderful work
11 you're doing to try to have this serious conversation,
12 involve the community at the table from the outset,
13 chairing it in fact with Sylvia, although she's not
14 here today, and having these really great informational
15 conversations, which we're very pleased to add to, as
16 far as we can.

17 Just the next slide, please, to explain who we
18 are, New Energy Nexus. It's sort of the largest
19 platform organization in the world for clean energy
20 entrepreneurs. Sounds like a strange statement, but we
21 run accelerators, incubators and funds in 10 countries,
22 primarily here in the United States.

23 The largest chunk of our team and the greatest
24 number of dollars and number of entrepreneurs we
25 support are here in the US. We started in California

1 back in 2004, actually thanks to the Public Utilities
2 Commission in a settlement with PG&E before
3 Commissioner Guzman Aceves was there.

4 They put \$30 million into a pot for a
5 nonprofit to manage. That's us. We invested that
6 money to help seed some of the companies that have
7 helped the state meet some of its energy goals till
8 now, and we're still charged with that trust as a
9 nonprofit partner to the CEC, with the CalSEED fund
10 that you heard about from Anthony Ng, the CalTestBed
11 Initiative, also through CEC funds, CalCharge, which is
12 an initiative with the National Labs in California to
13 promote a cluster of battery innovation companies that
14 we started in 2012, and a number of other initiatives.

15 We also have similar contracts with the State
16 of New York, and the Clean Flight there is our
17 Accelerator Program, which we just won a million dollar
18 EDA grant earlier this year to turn into a battery
19 product accelerator, also.

20 So we've sort of got the bookends of the
21 country trying to support innovation and this
22 ecosystem. We also run corporate innovation programs
23 like the EV and Battery Challenge with LG Chem, one of
24 the world's largest battery manufacturers. We've done
25 that for a couple go rounds over the last five years.

1 Third Derivative, which has companies like Tex
2 Pal. You'll hear about the news of cobalt free
3 chemistry coming out part of Texas. That's got about
4 36 companies, many of which are battery related. So we
5 basically do startups, innovation and a lot of battery
6 businesses.

7 That is us to try to establish who we are and
8 what we do. We support them. Next slide, please. I
9 kind of want to remind you where we are in the world,
10 and you'll have to push through this with the next
11 button.

12 The world is going through a rapid energy
13 transition, which all of the forecasts and
14 conversations from the likes of Benchmark, all due
15 respect to Cameron and his colleagues, have
16 historically gotten wildly wrong for about the last 30
17 years.

18 It's going to be a much faster thing, but we
19 disrupt, to use a kind of cliché out of Silicon Valley,
20 the old system with a new system of renewable power,
21 mostly solar and wind, but also geothermal.

22 And the next button, please, if you could push
23 it, batteries as the linchpin technology to this
24 transition. And the driver of battery demand, as we've
25 heard, is EVs, at least in the outset of the century.

1 Electric vehicles are batteries on wheels,
2 basically. We've got to remember that when we think
3 about battery energy storage systems on the grid, also.
4 They're what make our electricity cheaper. When you
5 look at wholesale markets like the Australian market,
6 where wind and solar penetration is exceeding
7 expectations enormously, hitting 50 percent some days,
8 et cetera, batteries are becoming a very big bit of
9 that.

10 And the lower the cost, which follows a
11 learning curve very similar to solar photovoltaics, the
12 more that story will grow. And there's an optimum cost
13 curve, which basically means we will build out several
14 times our current generating and demand capacities and
15 a lot of energy storage, both on the grid and with EVs.

16 And just to go to the next slide, again, to
17 reinforce the point without rubbing anyone's nose in
18 it, the forecasts are always wrong. I used to do that
19 as a job in the '90s, trying to fix solar and silicon
20 markets. That's why I jumped ship, to just ride the
21 wave that I saw crashing over the globe in the early
22 2000s, and started my first solar company, and have
23 done entrepreneurship since then personally, because it
24 really is a wave coming through the world that will
25 change a lot downstream of it.

1 And it's something like the internal
2 combustion engine and oil industry at the turn of the
3 20th century that is now sweeping the globe and being
4 driven by the demand in China that we heard about with
5 EVs and lithium.

6 And funny story for you. The corner of
7 California, the poorest corner of California, the
8 county called Imperial and San Bernardino with rare
9 earths up at Mountain Pass and some neighboring
10 regions, have a lock on the largest resource to make
11 that wave of innovation and transformation of the
12 energy industry happen.

13 And that is the lithium under the Salton Sea
14 in Imperial County. It's a kind of remarkable
15 confluence of events. It's like California had oil at
16 the start of the 20th century and didn't really know
17 how big a deal that would be, and how much wealth and
18 value and transformation would be created through the
19 oil industry, for good and bad, of course.

20 The fun story today is we kind of have that
21 history in California. We did have oil. It did cause
22 a boom and a bust and a bunch of bad stuff and
23 offshore, and oil spills and all the rest. We don't
24 have to repeat the mistakes of the past.

25 Daniel Day Lewis hasn't -- doesn't have to do

1 a movie called "There Will Be Blood." There need not
2 be blood in this lithium story as it rises, and we can
3 do much better with it. And there's a really critical
4 piece about the lithium boom that's coming, if you can
5 go to the next slide, which is that unlike the oil
6 phenomenon that we are sort of comparing it to in the
7 20th century, this industry development, which will
8 take most of the 21st century, from 2020 through the
9 2070s at least to bear out, is a circular economy,
10 ultimately.

11 The wisdom will be in the economics, as
12 evidenced by Redwood's announcements a couple weeks ago
13 to recycle right from the start, and to turn this
14 industry and all the innovation and intention of it not
15 to a once through resource extraction done in one sort
16 of deal, which is what oil and fossil fuels had to do,
17 because you burn them to get the energy out of them and
18 then aspirate them into the atmosphere.

19 In this case the lithium will recycle and will
20 go back into the system just as well as it started and
21 be just as valuable and just as, you know, through time
22 as rich a resource. And so the key to designing the
23 boom, the cathedral we're going to build in that corner
24 of California over the next decade for the several
25 decades beyond it, is to insure that we're also doing

1 that refining step and we're capturing all of the
2 materials and recycling them in situ at the same place
3 we've recovered them from the brines in the first
4 place.

5 Just to talk to the topic of, you know, my
6 presentation, opportunities for manufacturing and
7 innovation, if throughout this value chain we're sort
8 of fixated a lot on the material recovery, the debate
9 about mining and some production conversations about
10 cathodes, et cetera, but you know, there is a refining
11 step in here that is a big business in the world, and
12 California could do it really well with low cost
13 electricity, which we have actually, which with our
14 technology and our standards we could do better than
15 anywhere else in the world.

16 There's all of the components, which we deal
17 with a lot of startups in. There's the actual cell
18 production at scale, and there's a lot of manufacturing
19 process innovation, which I'll talk about in a minute.

20 There's the battery pack assembly, the kind of
21 bringing it together as a module, whether for a grid
22 application or a laptop or a car or a bus or a truck,
23 which we already do at some scale here in California,
24 and all those battery system ancillary products, like
25 battery management software, the biosuppression units,

1 the industry that is growing up around it and then the
2 reuse of those batteries in second life and the
3 recycling of their components so that we can do it all
4 again without any degradation of the raw material.

5 It's a really remarkable gift that we have to
6 capture here in the Golden State. Just to go to the
7 next slide. That value chain that's represented here,
8 you know, by another one of the analysts that we use
9 that, you know, captures the fact that California
10 actually is a big player in this space already, You
11 know.

12 You heard from Anthony earlier about some of
13 the CEC's bets, which have actually been facilitated by
14 my organization and the CalSEED fund. In fact, the
15 four companies that were featured are actually from
16 CalSEED.

17 Many of these have also gone through that or
18 our CalTestBed Program, and there's no shortage of, you
19 know, bright minds going after this space, no shortage
20 kind of. There will be many, many more doing it and
21 innovating and doing new and different things.

22 And one of the wonders of entrepreneurship is
23 if you unleash the genie in a concentrated place you
24 create synergistic values, network effects, kind of
25 creative collisions and accidental, happy -- happy

1 happenstance, if you will, that creates new and
2 additional products and services.

3 That's what Silicon Valley became famous for,
4 because you had a lot of the tech grows south of San
5 Francisco and an orange orchard around Stanford working
6 on microchips. You ended innovating out the wazoo and
7 inventing things like the Worldwide Web with the
8 Department of Defense support, albeit, and the Apple
9 iPhone with Department of Defense support, albeit, and
10 so on and so forth.

11 And we need to create that sort of space for
12 those creative collisions and that synergy to emerge,
13 which is really what the Lithium Valley opportunity is
14 beyond a cathode, so that we've got a pull for some
15 lithium powder that doesn't go out of Long Beach to
16 China.

17 That's not enough as a vision for this
18 Commission to really innovate and capture the value and
19 the jobs that will be created. Next slide, please.
20 Just to, you know, speak quickly about some of the
21 companies here in California.

22 You know, these are just ones we're following
23 and closely involved with this year. You know, there
24 are -- there have been dozens prior to it, you know.
25 We talk about Cimbol (phonetic) as though it were a bad

1 thing, you know.

2 And I know it may have harmed people's
3 expectations in Imperial, but failure is a necessary
4 part of the innovation agenda. That's what
5 California's famous at and supporting that with a
6 culture which says, have a crack.

7 It was a great idea. It was about a decade
8 ahead of its time. The technology that they built at
9 Cimbol is being used, without giving away any IP or
10 anything, by at least one of the companies that's
11 currently being talked about as in the race to crack
12 the nut down at the Salton Sea today.

13 That's a necessary problem in the process of
14 developing these companies. You know, all of these
15 ones, well, I could tell you great stories about --
16 just to go to the next slide, you know, just to show
17 you a photo of what we're talking about, if you could
18 change slides.

19 These are people, mostly young, but not
20 always. Sorry. Next slide. I can't see it changing.
21 This is a company called Coreshell, which we haven't
22 talked about yet. They're in Richmond, California,
23 currently an oil refinery town, looking at going bust
24 because, guess what, oil's going the way of the Dodo
25 and 100-year-old refineries like Richmond are

1 definitely going to go down, sooner rather than later.

2 And this sort of company could be the kind of
3 beneficiary of a Lithium Valley initiative here in
4 California, which is centered in Imperial County, no
5 doubt, but is bigger than that, in fact, like Silicon
6 Valley, spanning the state in terms of the Zeitgeist
7 and the opportunity that it creates.

8 And this is a diverse group that is cracking
9 the nut on a drop-in substitute of all separator
10 improvement and, you know, we know for a fact from our
11 partners in big corporates that what they got is heart
12 and they're going to do well, just as Cuberg did, for
13 example, who we were the first ones to take a bet on
14 before Boeing did, but -- and then they got acquired by
15 Northvolt and are looking to build a giga factory right
16 here in this good state.

17 So all these little seedlings, the CalSEED
18 companies, these startups, could become very big
19 companies, you know; apocryphal story for you, because
20 I don't want to create too many expectations.

21 But my predecessors in my organization, in
22 that first fund, CalCEF in 2004, invested in 2005 in a
23 little company called Tesla. It was crazy at the time.
24 Elon hadn't even joined the operating team. There was
25 no chance that was going to disrupt all OEMs, and BMW

1 would be chasing them and their market capital would be
2 greater than Ford, MGM and Chevy combined.

3 That was insane to say that in 15 years, and
4 now look. They just opened another factor in Stockton
5 with another 1,000 people. And you know, who knows
6 which of these companies in this current crop, and who
7 will come up in the ground that we have to seed in the
8 Southern California inland counties will become the
9 next Tesla and the next Tesla, because if you think
10 about it like the oil industry over a century, it's not
11 going to be one company.

12 It's not going to be four companies. It's not
13 going to be 40 companies. It's going to be dozens and
14 dozens of companies that dominate through times and
15 years. Some may rise to a great height. Others may
16 disappear, but it's going to be a fascinating churn.

17 Just to go to the next slide to make the point
18 that others have made previously, the VCs are getting
19 frothy on this. I mean, I'll tell you that it's
20 actually irrational exuberance right now. We follow
21 this space very clearly, because you know, we put up to
22 \$600,000 of state funds as nondilutive equity into our
23 startups.

24 Many of them are closing rounds now in the
25 millions of dollars, straight off the back of \$150,000

1 bets. It's a hot topic and will not abate, because
2 that supply/demand graph, which as I mentioned, will be
3 wrong in detail, right directionally, will continue to
4 stretch the need for new supply and new ideas and
5 innovation.

6 But there is one big negative that I have to
7 show you, which is the next slide, which is that the
8 manufacturing capacity, as we've heard, and this
9 changes all the time, as Cameron pointed out from
10 Benchmark's point of view, they don't know all the
11 known projects getting built, but we're really not
12 doing that much here.

13 And good on Ford and SK, but 11 billion bucks
14 doesn't do it. You know, it's a nice investment, and
15 so is Tesla in Texas and in Stockton and in Nevada, but
16 we need to be investing in this country hundreds of
17 billions of dollars to keep pace, just to keep pace
18 with Europe and China.

19 On this stuff that we innovated, we have the
20 largest resource in California to produce, and you
21 know, have the greatest demand through the largest
22 economy in the world. So the manufacturing story is a
23 problem and we've got to do better to attract that.

24 And to the next slide, one of the points that
25 I will disagree with some of the previous speakers

1 about is that co-location of the startups and the
2 innovators and the entrepreneurs and the inventors and
3 the crazy scientists, with the manufacturing, with the
4 materials production, with the large-scale big end of
5 the town businesses, actually is a strategic advantage.

6 That is how we can win this. You know,
7 there's a great company that I mentioned in my list of
8 companies in California call Enovix. This is a slide
9 from their white paper, which I think Elisabeth
10 circulated to y'all on the Commission.

11 Enovix is building batteries for watches and
12 advanced personal communications devices here in
13 America, here in Fremont, in fact, just across the
14 street from the Tesla factory. They want to build
15 their next battery factory in California.

16 They have a strategic reason to do so, which
17 is that the longest time to a new model with an
18 advantage in an OEM's experience is going to be the
19 manufacturing innovation to drop in a new battery cell
20 into a production line and make it at scale to make it
21 to cars.

22 You think about the turmoil that LG and Chevy
23 are going through right now with the Volt recall. If
24 you're doing that from Asia to America, you're time of
25 rotation and transfer of knowledge and conversation

1 between engineers is months.

2 Whereas, if you're doing it across the street
3 it might be days. It's literally an enormous
4 competitive advantage, which we should focus on and
5 attract. And also, I don't actually believe the
6 logistics numbers. I think nickel and manganese and
7 cobalt are not a wash with lithium in the cost
8 structure of atana (phonetic) battery material in a
9 cathode baking operation.

10 I don't think cobalt will even be an issue in
11 the future with cobalt free chemistries. Lithium is
12 the driver. Logistically, it makes the most sense to
13 be building the batteries near where the lithium comes;
14 not necessarily next to it, but near it.

15 And we've got to get sharp here in California
16 about these things. So to finish, I would recommend,
17 if you could go to the next slide, that we really turn
18 this conversation to a kind of what Mariana Mazzucato
19 calls a mission economy.

20 If you don't know her, she's the economist
21 that has been really driving the green deal, not the
22 green new deal, but the green deal in the European
23 Union. She's out of Imperial College, London, but an
24 advisor to the Italian Prime Minister and the European
25 Union.

1 She has forged many of the strategies which
2 are why Europe in 2016 didn't have a battery giga
3 factory, didn't have a lithium production operation,
4 didn't have a battery recycling plant. Guess what?
5 Today they've got 12 giga factories.

6 They got two lithium production operations.
7 They've got three giant recycling operations. That's
8 five years later, and they did that as an intentional
9 moon shot where they said, if we don't do this we're
10 going to lost 25,000 workers or whatever it is, just in
11 -- you know -- per annum for the next decade and
12 Germany's going to be gutted.

13 So we need to fix for that and we need to
14 create all of this. I was in the UK last month
15 visiting with a startup that is doing brine recovery
16 from Cornwall, where they found some old maps last year
17 of 1700s tin and copper mines and saw signals that
18 suggested lithium brines may run through those there
19 rocks, and they stuck a pipe down and they pulled it
20 out, and they're now trying to get it out for
21 commercial recovery, which they're going to sell to
22 themselves in Sunderland, which is about as far as
23 Imperial is to Stockton, and they're building a giga
24 factory with misand in Sunderland in an old depressed
25 shipbuilding town in Northern England, for the car

1 mandate, which Boris Johnson has made for 2030 electric
2 vehicle adoption.

3 That's what, you know, we need to leverage all
4 of the policy incentives, the demand, the mandates that
5 we have and get this sort of thing going. I've pulled
6 an example from the Commission that the UK ran on the
7 future mobility in an open innovation, industrial
8 strategy, which to go to the final slide, is what I
9 would strongly recommend we build here in California,
10 that does co-locate as much of this as close to
11 Southern California, so that we can indeed achieve
12 uplift of the poorest communities in the state.

13 Certainly, that's out commitment. As Anthony
14 mentioned, the CalSEED fund, for example, 41 percent of
15 the funds we have deployed in the last five years, \$25
16 million, have gone into DAC communities, into under-
17 served communities.

18 We've got to that piece right. The community
19 engagement has to be best practice, better than IRMA.
20 Great that Ford has signed up for IRMA. This is the
21 International Responsible Mining Assurance Guidelines,
22 but we can do more than that in California and get a
23 competitive advantage, because companies like OEMs do
24 buy, according to ESG standards, as Cameron mentioned.

25 That will be a differentiator, as will carbon

1 footprint. You know, you saw that the European Union
2 is using as a driver of its demand the requirement for
3 certain grams of CO2. We have the lowest carbon
4 footprint potential lithium and battery production in
5 the world, in Imperial County with your work in Lithium
6 Valley.

7 And we must make up hirers (phonetic), jobs
8 and labor agreements, because that's how you sustain it
9 for those 70 years, 100 years, century-long vision and
10 get that recycling going and get everyone locked into a
11 long-term innovation agenda, which continues to renew
12 and create new value, as has Silicon Valley up Northern
13 California way, for the good of the state. So that's
14 where I'll leave you. Thanks.

15 VICE CHAIR KELLEY: Thank you, Mr. Kennedy.

16 The next presentation is from Ms. Slattery, on
17 electric vehicle battery end of life. Ms. Slattery,
18 are you ready?

19 MS. SLATTERY: I am ready. How's my audio?

20 VICE CHAIR KELLEY: You're good.

21 MS. SLATTERY: Okay. So yeah, thank you, Vice
22 Chair Kelley and Commissioner, and thank you,
23 Elisabeth. My name is Meg Slattery, and I'm a PhD.
24 student at the UC Davis Energy and Efficiency
25 Institute.

1 I'm also an affiliate with LYRIC at Berkeley
2 Lab and have been following this Commission very
3 closely in that capacity. So I'm excited to be
4 speaking here today, although that is not what I will
5 be talking about.

6 My presentation today will be a quick over of
7 the EV battery end of life landscape. I know everyone
8 feels this way, but there's a lot more to say about
9 this than can fit into 15 minutes. So I want to
10 acknowledge up front that I'm going to gloss over some
11 important details, and that I'm happy to explain any of
12 these topics more in depth in the Q&A.

13 Next slide, please. So first, I'll introduce
14 the UC Davis Material Circularity Lab and briefly
15 describe our research areas. Then I'm going to present
16 an overview of the EV battery life cycle, focusing on
17 end of life pathways.

18 Then the bulk of this presentation will be
19 about the Lithium Ion Car Battery Recycling Advisory
20 Group and our key topic areas, which are reuse,
21 recycling and reverse logistics. And then finally, I
22 will just highlight where I see key areas of alignment
23 with the work of this Commission.

24 Next slide, please. So our team is led by Dr.
25 Alissa Kendall, who's a life cycle assessment expert

1 and has published a lot of important work on the life
2 cycle impacts of lithium bio-fuels and many other
3 products.

4 And then also, Jessica Dunn, myself and
5 Hanjiro Ambrose, who now mainly works with CARB. And I
6 want to show this just to highlight that while I'm
7 speaking today it's very much a team effort and we've
8 all contributed to what I will present.

9 Next slide, please. So the motivation behind
10 our work, similarly to this Commission, is the
11 recognition that our strategies for mitigating climate
12 change rely on material, intensive solutions, and also,
13 that there's an opportunity as we're to carbonize these
14 area -- fundamental systems of energy and
15 transportation to create a myocredible (phonetic) and
16 environmentally responsible system.

17 And to support that vision it's necessary to
18 be aware of the life cycle impacts and who is affected
19 by them, proactively avoid negative environmental
20 consequences and ultimately strive for a more circular,
21 as opposed to linear, extractive economy.

22 Next slide. So currently, we are not
23 experiencing large flows of batteries. EV batteries
24 are expected to last approximately eight to 10 years,
25 although that's an estimate. So the first mass

1 produced vehicles are likely just now retiring.

2 And given that context our work is to
3 understand what we should expect and prepare for,
4 acknowledging the uncertainty that's inherent to
5 studying such a rapidly evolving field. Our primary
6 research areas are estimating to what extent we can
7 meet future demand with recycled materials, and also
8 understanding the practical logistics of vehicle after
9 life.

10 And all of this works shapes and is also
11 shaped by our roles supporting Cal Recycle's Lithium
12 Ion and Recycling Advisory Group. Next slide, please.
13 So this graphic is from the resale center at Argonne
14 National Laboratory, who are leading a lot of work
15 related to recycling and life cycle assessment.

16 A lithium battery is -- on the mining
17 production these phases have been covered well by the
18 previous speakers. So I'm going to start right here in
19 the bottom right-hand corner. So when a vehicle
20 reaches end of life the battery may be suitable for
21 reuse in another vehicle or repurposing as stationary
22 storage, depending on its condition.

23 So that's what this second use icon is here.
24 And then ultimately, it will need to be recycled or
25 otherwise disposed of. And what I think this graphic

1 illustrates really well is that where those recycled
2 materials plug back into the value chain depends on the
3 recycling pathway.

4 So pyrometallurgical recycling is this outer
5 loop, and you can see that that's a smelting-based
6 process and has historically been the most common
7 pathway. But the outputs of the pyrometallurgical
8 recycling process need to be further refined to -- in
9 order to be used in the production of new batteries.

10 So then this middle loop is hydrometallurgical
11 recycling, which uses chemical leaching and
12 purification processes, and can produce metal sulfates
13 like cobalt or nickel that can be reused in cathode
14 production.

15 And then finally, the researchers at Argonne
16 are also working on something called direct recycling,
17 where the goal is to recover cathode materials intact
18 and directly reuse them, to the extent that's possible.
19 But this is still in the development stage.

20 And then finally, another pathway that's not
21 depicted here is open loop recycling, and that would
22 just mean that the recovered materials were used in the
23 manufacturing of other products. Next slide, please.

24 So this advisory group that we work with is
25 very similar to this body. It was formed in 2019 in

1 response to AB 2032, and is mandated to submit
2 recommendations to the legislature aimed at insuring
3 that as close to 100 percent as possible of lithium ion
4 vehicle batteries in the state are reused or recycled
5 at end of life in a safe and cost effective manner.

6 And the role of our team has been to provide
7 background documents and presentations, and we're now
8 developing the group's final report. So we divided
9 earlier, beginning of this year, we divided the group
10 into three subcommittees focused on reuse, recycling
11 and logistics, and then have facilitated discussions to
12 generate recommendations.

13 Next slide. Like I said, we're currently
14 drafting the report, which will be available in its
15 final form on March 2022. So if this process is of
16 interest to anyone on Zoom, all the meetings and
17 materials are public, and I also have the link to this
18 advisory group in this presentation.

19 Next slide. So this has kind of been touched
20 on earlier in this meeting, but the principle behind
21 reuse is that most electric vehicles will reach end of
22 life when their range and performance are no longer
23 acceptable to the driver, or due to a collision.

24 And so in some cases the battery may still be
25 suitable for use in another vehicle, or repurposing for

1 stationary storage, depending on its condition. There
2 are several early stage repurposing companies in
3 California and elsewhere in the United States, most of
4 whom have been supported by some of the CEC grants that
5 Anthony mentioned earlier.

6 And the key benefit of reuse is extending the
7 usable life in the battery. So on top of that reusable
8 -- reusing batteries in vehicles could provide a more
9 affordable battery option than exist today, and then
10 repurposing them in stationary storage applications
11 could also provide an affordable form of energy
12 storage, which would support grid decarbonization
13 goals.

14 Some of the key barriers to reuse and
15 repurposing that we've identified are competing with
16 new batteries, given the falling cost. The allocation
17 of responsibility; so that refers to if the battery is
18 repurposed by a different company, how to make sure
19 that the liability and responsibility transfers from
20 the OEM to that company.

21 We've also talked about the lack of
22 transparent data surrounding the battery condition,
23 which increases the cost of repurposing because it
24 takes more time to test each bat cell or module, and
25 determine whether it's suitable for reuse or not.

1 And then finally, the lack of volume and the
2 decentralized nature of the vehicle after life market
3 means that it is currently challenging for repurposers
4 to access a consistent supply of retired batteries.

5 And finally, safety is also a high priority
6 there. So there are fire codes and interconnection
7 regulations that repurposing batteries has to comply
8 with, including obtaining UL certification.

9 Next slide. So there's a sense at least when
10 I talk to people that batteries either can't be
11 recycled or that there are no options for recycling.
12 In reality, there are several companies in North
13 America who recycle lithium batteries on a pilot or
14 commercial scale.

15 And has been mentioned earlier today, there's
16 developments happening in this all the time, and a lot
17 of venture capital, and I feel like I get press
18 releases about new agreements very frequently. So
19 there is a lot happening here.

20 Most companies that have been announced in the
21 US or north -- or Canada use a hydrometallurgical
22 recycling process, and that they claim can recover 90
23 to 95 percent of the cathode materials.

24 And in general, these processes use a heat or
25 mechanical based first step that kind of separates

1 different component materials to generate what's called
2 a black mass that's pictured in the bottom right.

3 And this black mass contains the cathode
4 demand and materials. So then they use a
5 hydrometallurgical process, which is chemical leaching
6 and purification, and that they're able to recover
7 nickel cobalt and manganese sulfate, as well as lithium
8 carbonate and in some cases graphite through that
9 process.

10 But currently, given the lack of domestic
11 cathode manufacturing, this material will then be
12 exported elsewhere to be reused in other batteries. I
13 also wanted to highlight that which metals are
14 recovered really depends on their commodity value, not
15 so much as the technical feasibility.

16 So historically, lithium has not been
17 recovered, and that's mainly because the value of
18 lithium has not been enough to cover the added stuff of
19 recovering it in usable form. And more often, it's
20 contained in the slag where it can be used to produce
21 cement.

22 We've also discussed the importance of
23 insuring that batteries are recycled at facilities that
24 mitigate the environmental impact and insure safe
25 working conditions, particularly given the context that

1 many used vehicles in the United States are exported to
2 other countries, and these places may not have the
3 resources or regulations to recycle them safely.

4 Finally, there are no -- currently no
5 recyclers in California. So the closest facilities are
6 in British Columbia and Carson City, Nevada. Next
7 slide. The final area we've been tackling is
8 logistics, and that essentially encompasses everything
9 leading up to repurposing or recycling.

10 So that includes removing the battery from the
11 vehicle, testing to determine appropriate next use,
12 although that also sort of falls under reuse, and then
13 collection and sorting, transportation and tracking.

14 This is a extremely important area, partly
15 because right now it's not necessarily well understood
16 by everyone where batteries will end up, and
17 particularly capturing out of warranty batteries has
18 been identified as a challenge.

19 So You can see in this graphic, if an EV
20 battery is under warranty then it will probably be
21 returned to a dealership and kind of the OEM is able to
22 control what happens with it and insure that it's
23 properly reused or recycled.

24 Whereas, if they're out of warranty, it's just
25 owned by the current owner of the vehicle and may also

1 be -- it'll likely be removed by a dismantler or a
2 recycler, and those are typically kind of smaller, more
3 decentralized operations.

4 So the -- some of the key concerns or
5 considerations for the Logistics Committee are insuring
6 that the batteries are removed, stored and transported
7 safely, and then also, the cost of transporting
8 batteries and tracking and collecting.

9 Next slide, please. So we've discussed a
10 variety of policy options to address some of the
11 barriers I just talked about, and these options have
12 varying levels of support among advisory group members.

13 So some are very popular. Some are more
14 controversial, and this is kind of a preliminary list
15 of what is on some of what is on the table right now.
16 One of the key areas we talk about is determining
17 responsibility or a financing mechanism for end of life
18 management.

19 There are several different, possible models
20 that have been proposed. And then another one I'd like
21 to draw the Commission's attention to is a policy
22 establishing labeling requirements for batteries, and
23 including a digital identifier.

24 So those would require that all batteries have
25 a label and a QR code that would contain information

1 about the battery, including the capa (phonetic)
2 chemistry and instructions for disassembly.

3 And that's related to the conflict of the
4 battery passport, which is being developed by the
5 Global Battery Alliance. So the battery passport would
6 be a digital block chain based platform to track the
7 battery throughout its Life cycle, and it has been
8 proposed that this include supply chain information to
9 assure sustainable and responsible material sourcing.
10 So I think it's something that this Commission should
11 be aware of.

12 In terms of the others, because I can't get
13 into all of them, I think if anyone has questions about
14 a specific barrier or a policy, then I'm happy to
15 explain it more in the Q&A. Yeah.

16 And so I think just to summarize, I think that
17 these two Commissions and our lab are aligned generally
18 in the motivation and recognition that the most
19 sustainable electrification pathway will maximize the
20 use of recycled materials and insure that where mining
21 is necessary, materials are mined in the way that
22 minimizes negative environmental impacts and seeks to
23 uplift the communities where material are sourced.

24 In addition, I think the supply chain, and
25 specifically the role of a domestic cathode

1 manufacturing capacity, have been mentioned pretty
2 frequently as an important divert to meeting the goals
3 of both groups.

4 And then the tracking mechanisms under
5 development are really irrelevant to this Commission as
6 a means of promoting more sustainable sources of raw
7 materials. Next slide, please. And then -- oh.
8 Actually, can yo go to the next slide?

9 Yeah. So finally, I'm just leaving our
10 contact information in case anyone has further
11 questions, and then the link to the advisory group
12 website. I think our next meeting is going to be held
13 I believe we decided November 2nd.

14 But there's more information about those
15 meetings, and then also, the materials from past
16 meetings. And like I mentioned, our report is due
17 March 20, 2022. So if that will be useful to the
18 members of this group, then you can be on the lookout
19 for that. And that's all I have.

20 VICE CHAIR KELLEY: Thank you, Ms. Slattery.
21 So at this time we will open up the Q&A for
22 Commissioners, for Mr. Kennedy, Ms. Slattery and
23 Commissioner Dolega.

24 Do we have anyone, Elisabeth?

25 MS. de JONG: Yes. You have a hand raised

1 from Commissioner Weisgall, and then Commissioner
2 Colwell.

3 VICE CHAIR KELLEY: Commissioner Weisgall.

4 COMMISSIONER WEISGALL: Thanks very much.

5 Thanks to all three of you; great
6 presentations, as were the earlier ones. Question for
7 Meg. What are you seeing in terms of cost structure
8 for recycling as opposed to recovery extraction?

9 Probably a broad question, but at -- you know
10 -- is there a point at which recycling will become even
11 more cost effective? I'm guessing it's not, but you
12 know better than I do.

13 MS. SLATTERY: Well, it's really hard to tell,
14 because actual numbers about the processing cost from
15 recycling companies are not really possible to obtain.
16 So often, it's more calculated based on kind of what
17 would the break-even costs needs to be, given the
18 commodity values.

19 I think the general consensus right now is
20 that cobalt and nickel are economical to recover, and
21 then the other materials, it will kind of be driven by
22 whether the raw material prices increase in the future.

23 And we've also discussed -- people have
24 discussed, like, if there were to be a subsidy, what
25 would that level be, and I think we don't have a clear

1 answer on that right.

2 COMMISSIONER DOLEGA: Yeah. Hey, this is
3 Roderic. I'll just tack onto that. You -- we do have
4 some policy examples in Europe, though, where the OEMs
5 are going to be driven to recycle certain levels of
6 content.

7 So that will include potentially even an
8 economic metals. Right. So like to make this point,
9 depending on price of lithium and the recovery costs,
10 you know, it could be break even, could be at a cost.

11 Sometimes, policy will drive some of those
12 requirements, regardless, on tops of the potential
13 requirement to use certain amounts of recycled metals
14 in the pack. I think North America may -- might be --
15 you know -- the direction of that policy here is
16 probably yet to be determined, though.

17 MS. de JONG: So the next hand raised is
18 Commissioner Colwell.

19 COMMISSIONER COLWELL: I guess this is for
20 all. Is there, you know, the recycling, Meg, and you
21 know, comments to any brilliant -- I mean, trying to
22 sort of capture this circular economy in one region.

23 But is there a call volume you start to see, a
24 call volume of penetration where, you know, recycling
25 really starts to make sense? You know, so for example,

1 you know, 10 percent penetration, 20 percent you start
2 to sort of get enough call volume to be able to justify
3 that in numbers from raw materials to having enough,
4 you know, batteries coming out of commission, say six
5 to eight years, to be able to justify an industry?

6 MR. KENNEDY: Meg, do you want to go for that
7 first?

8 MS. SLATTERY: Oh, yeah, sure. I saw that you
9 were unmuted, so I was waiting. I think, yeah, the
10 volume of retired batteries is definitely a big
11 determinant of the economics; also, because the
12 facilities are more cost effective to run at a high
13 throughput.

14 But I'm not sure exactly what the calculation
15 of, like, how many years or what the volume that's
16 necessary is for that breakeven cost through to happen.

17 MR. KENNEDY: And I would just add, Rod, that
18 you know, I think it's a bit dangerous to try to
19 believe we'll get an economic model that is correct
20 about this. I mean, the point was made earlier, and
21 Redwood has sort of demonstrated in the money market,
22 cobalt recycling is good enough, at a fairly -- You
23 know -- like small scale right now.

24 Like, penetration's not great. They're using
25 laptop and phone battery supply chains to basically

1 feed the machine. So you know, like it's probably
2 around now, and it's going to just take off and keep
3 going and surprising us.

4 And you know, every time we try to estimate
5 when the next threshold is we sort of underestimate it,
6 much like the takeoff of a solar economy, which is
7 surprising everyone. I think, you know, that that's
8 what I'm hoping people are left with. There's an
9 opportunity to do something ahead of that curve, rather
10 than trailing it.

11 MS. de JONG: The next hand raised there is
12 from Commissioner Guzman Aceves. Did we lose her?

13 COMMISSIONER GUZMAN ACEVES: I'm sorry. I
14 forgot to unmute.

15 MS. de JONG: Oh. There you are.

16 COMMISSIONER GUZMAN ACEVES: Thank you very
17 much for the presentations from both of the panels. I
18 think it's been very fantastic to hear the
19 perspectives. And I just wanted to reflect on what I
20 think I heard that was distinct on the slightly
21 different -- and I -- and so I wanted to give maybe Mr.
22 Dolega an opportunity to clarify if I understood
23 correctly.

24 But I heard Danny really push the benefit of
25 co-location and manufacturing, and I heard you say

1 something a little different, and --

2 COMMISSIONER DOLEGA: We could -- yeah. We
3 can kind of talk through that, sure. So I think -- and
4 maybe I can ask Danny that question in terms of how far
5 upstream from the lithium source do you see the value
6 of integrating.

7 And you know, maybe there might be some
8 semantics in terms of like co-location in terms of, you
9 know, are the plants side by side, are they
10 regionalized -- right -- or just, you know, how close
11 to the proximity of a mine or the natural resources do
12 certain parts of that intermediate value chain need to
13 be.

14 And then when you start processing, you know,
15 the first step say is cathode, that the lithium player
16 would chip into, you know, how close do, then, the
17 battery factories need to be to the cathode to take
18 advantage of any logistic benefits or other benefits.

19 And then obviously, I think it was mentioned
20 before, usually you do have a combination of the
21 battery facilities with the vehicle assembly plants,
22 because the battery are heavy to ship. So you don't --
23 you're not -- and dangerous to ship, potentially.

24 So you don't want to have that distance be
25 great. So you see companies co-locating those

1 facilities. Going upstream it becomes a little bit
2 more of a economic decision and you have to weigh
3 certain different aspects of that value chain.

4 So Danny, go ahead and, you know, I'd be
5 curious to hear your thoughts on the full value chain
6 and where you see the benefits on the lithium side
7 versus some of the other intermediate steps.

8 MR. KENNEDY: Sure. And thank you. And you
9 know, obviously, I don't know either. I'm trying to
10 observe some patterns and how industries develop
11 elsewhere. And I would offer, you know, we're also not
12 necessarily talking about power OEMs only.

13 You know, who knows. In 2050 we may not
14 mostly get about in cars. We may have moved to
15 mobility as service options and buses and autonomous
16 vehicles and flying taxis and stuff, all of which, by
17 the way, will be electrified and dependent on lithium
18 batteries, lithium being the lightweight, high energy,
19 dense element we can work those technologies with.

20 So we're talking about color coding lots of
21 things, not just, you know, four factories, like
22 refining facilities, like recycling facilities near
23 refining facilities. All of those at the very least
24 should be there.

25 As to, you know, the point about higher end

1 manufactured, including the OEMs making the cars or the
2 buses or the planes or the bikes and the trikes, the
3 wisdom of a regional agglomeration -- I don't know what
4 the geography is in size exactly, but it is probably
5 closer, rather than further apart, because batteries,
6 moving them around, and it is a big cost.

7 And this exchange of IP, this transfer of
8 knowledge, you know, you can be sure shooting where
9 that growth in China is. If you looked at it in the
10 geographic setting, it's in clusters around, you know,
11 messy industries with nasty old furnaces from the
12 medieval era to refine the base metals that we're
13 talking about.

14 But you're in geographies around the Pearl
15 River Delta or the Yangtze River Delta, Citron, and we
16 need to think like that, not think like -- in the 20th
17 century cars were built in the Midwest. And so cars
18 are going to be built in the Midwest and batteries are
19 going to be maybe procured from a supply somewhere
20 else.

21 You know, to me it makes the most sense that
22 Detroit shifts to Southern California. Whether it's
23 exactly Imperial County, I don't know whether the water
24 would sustain that, but that industry. And there's
25 already a whole lot of reasons to believe that's going

1 to happen.

2 Los Angeles is actually the nation's leading
3 advanced manufacturing center. People don't realize
4 that, but it's a huge assembly center for advanced
5 manufactured goods. Mexicali, 10 miles south of here,
6 has an enormous workforce trained to work in these
7 things.

8 In fact, much of the automobile supply chain
9 is currently going across that border and up to the
10 Midwest to the auto supply chain, as we think of it,
11 even though it's coming out of just south of Imperial.

12 With Rivian setting up in Arizona, just over
13 there, you know, Tesla's just up the hill in Nevada and
14 across the way in Tax Court, that region, you know, I
15 don't know what the scale of it is, and as Silicon
16 Valley is more of a concept in space and time, rather
17 than a physical valley, I think we should think about
18 this as that.

19 So I'm sorry if I'm being a bit rambly,
20 Commissioners, but trying to say there are definite
21 advantages, and as we race to the future and try to
22 recapture the battery supply chain co-location to
23 compete for that gen three battery type, we'll be well
24 served to have the chemists close to the industrial
25 manufacturing process engineers.

1 But beyond that, the innovations and things we
2 haven't even thought of and can't think of today will
3 come up in the 2050s, '60s and '70s because we built
4 that community and that ecosystem to spawn them today.
5 So this is an investment in the late 21st century.

6 MS. de JONG: We have another hand raised from
7 Commissioner Olmedo.

8 COMMISSIONER OLMEDO: Hello again. It's a
9 question, just part of the dialogue that's happening,
10 both Commissioner Dolega and Mr. Kennedy here. But let
11 me see if I can insert this comment in there.

12 But one of the things I noticed is the solar
13 industry had a very difficult time building on state
14 and federal land. So it looked like at the path of
15 least resistance and that became agricultural land.
16 Unfortunately, as we tried to build a job opportunities
17 it was real clear that that didn't include the farm
18 workers, who a lot of times may not have the -- and
19 it's not always the case -- it's perceived that they
20 are just slow skilled workers.

21 And the fact is that it's not. A lot of them,
22 as you mentioned, Mr. Kennedy, come from Mexico, have
23 credentials, degrees and just have, you know,
24 difficulty finding sufficient income in their practice
25 or in their careers.

1 Therefore, they look at agriculture as an
2 option. So it's -- also, the situation about the
3 manufacturing happening in Mexico and how the -- again,
4 you know -- international agreements have not
5 necessarily addressed a lot of the local issues.

6 And this dialogue just makes me think like, it
7 is -- you know -- I know it's sort of this big umbrella
8 like, oh, we're going to create jobs and we're going to
9 create great jobs and where those jobs -- see, we're
10 already getting into that conversation about, they're
11 going to come from Mexicali, when the conversation is,
12 are we going to build universities and colleges locally
13 to be able to build that skilled labor here, right.

14 So we have to be really careful, you know, how
15 we're having these conversations, because we leave a
16 lot at the table, and we have left a lot at the table
17 locally. The known resource area is also surrounded by
18 agriculture, which provides hundreds, perhaps thousands
19 of jobs just in that locality.

20 Creating the logistical, advantageous and
21 economic opportunities here, yes, bring it all locally,
22 but we have to do it in a way that it doesn't create a
23 situation where we're not paying attention to what's
24 creating the jobs right now, in trade for bringing
25 other jobs.

1 So I would hate to see another scenario where,
2 you know, we've seen with the solar where farm workers
3 were just expendable. Okay. And so that's just one
4 scenario. There are many compounding scenarios that
5 have happened where our community was not factored in
6 correctly, because these assumptions are being made in
7 a very high level.

8 They're not looking into the micro level of
9 what -- what the --

10 THE INTERPRETER: We think --

11 (Whereupon, the interpreter becomes audible)

12 MS. de JONG: Oh, sorry. I'm going to jump in
13 --

14 COMMISSIONER OLMEDO: I'll take that as a cue,
15 but I know --

16 THE INTERPRETER: I'm sorry.

17 COMMISSIONER OLMEDO: That's my comment, you
18 know. I don't want to get too deep into it, but I just
19 want to make sure that as we're looking in these
20 situations that we do look at the micro situation like
21 --

22 (Whereupon, the interpreter becomes audible)

23 MS. de JONG: Can I -- sorry. I want to --
24 Maria Ramirez. Sorry. You're not on the
25 interpretation channel at this time, so we can hear you

1 speaking -- we can hear you speaking.

2 THE INTERPRETER: Well, I got this connected
3 to you. Transfer me over, then.

4 MS. de JONG: Yeah. We're working on that and
5 Rosemary will notify you when you're back.

6 THE INTERPRETER: Okay.

7 MR. KENNEDY: Can I just say, Commissioner
8 Olmedo, thank you, and point taken, absolutely. And I
9 don't mean to sound like that at all. And on the
10 contrary, I think what I'm trying to get to is this
11 could be a boom in the -- sort of boom/bust style, you
12 know, a good opportunity for hundreds and maybe
13 thousands, and maybe they are local and maybe they're
14 not, depending on some policies and training and
15 workforce development efforts taken out.

16 All of this could be a boon, not a boom, but
17 like a long sustained economic opportunity, prosperity,
18 potentially, done right, designed right at this stage,
19 for hundreds of thousands in the region. How big that
20 geography is, again, I'm not sure.

21 But you know, the state needs to get pretty
22 entrepreneurial at this stage to make sure the stem
23 education, K through 12, the workforce development, you
24 know, simple sort of certificate degrees, as well as
25 the more sophisticated, advanced chemistry, whatever

1 those degrees are, all that needs to happen and that's
2 how, you know, you'll see these innovations springing
3 up.

4 The talent will come from the region. The
5 ideas will come from the region, but we could lose
6 that, too, I agree, and we could worst of all not use
7 it as an opportunity to empower communities that have
8 been historically left behind.

9 That's the choice. Just to underscore the
10 sort of drama of your work here at the Commission, the
11 decision will be made in about the next five years in
12 terms of the global provinces that will be built around
13 this electrification of everything, lithium and
14 silicon-based future. And either this corner of
15 California is a big part of it or it's a bit part of
16 it.

17 VICE CHAIR KELLEY: Thank you. Elisabeth, are
18 there any other hands raised?

19 MS. de JONG: No. There are no other Lithium
20 Valley Commissioners with their hands raised at this
21 time.

22 VICE CHAIR KELLEY: Then I believe we are
23 moving onto public comment for the workshop.

24 MS. de JONG: Thank you. So if you're joining
25 us via Zoom on your computer, please use the raise hand

1 feature, and if you've called in, dial *9 to raise your
2 hand and then *6 to unmute your phone line.

3 First, we'll go through raised hands in the
4 Zoom application, and then those on the phone, followed
5 by any written comments on the workshop. All right. I
6 have a hand raised from Nikola Lakic. You should be
7 able to unmute yourself.

8 MR. LAKIC: Okay. Hello, everyone. Can you
9 hear me?

10 VICE CHAIR KELLEY: Yes.

11 MS. de JONG: Yes.

12 MR. LAKIC: Thank you. Thank you for this
13 opportunity to say a few words. On first segment of
14 public comment after Tom Sephton make comment I tried
15 to raise hand, but accidentally I double click it. So
16 it looks like my hand wasn't raised at that time.
17 Sorry about that.

18 Tom Sephton said something about
19 misinformation of the media and public and/or lack of
20 information. Well, on -- I know some members are here
21 representing environment, environmental justice and
22 please listen carefully.

23 Public needs to know your motion, your goal of
24 the extraction of the lithium is based on perimeter
25 brine lake. What it means. It means destruction on

1 the lake. It's oncoming ecological disaster.

2 And you know that public does not know that.
3 Please, if you want to be fair, tell it. Now, the --
4 in my opinion main problem is really mismanagement of
5 the Salton Sea situation. We have right now lithium
6 coalition, Lithium Valley Coalition, and then we have
7 Salton Sea long-term plan.

8 It doesn't work. A, it is integral part. Be
9 -- just be patient a little bit. I'm -- my proposal is
10 under review of the Santa Cruz, California University
11 right now and there is independent panel -- panel of
12 independent reviewers.

13 Be patient. Wait for that report. Then we
14 can move forward, because what I'm proposing is just
15 make dike around your property. I'm talking directly
16 to the Mr. Kelley right now. That way, you can have
17 your land.

18 You can't harness lithium without destroying
19 lake. There is solution, and I hope that they will
20 work together sooner or later. I hate to be
21 confrontational, but -- and you know, it's something
22 that needs to be said, and public needs to know, too.

23 And for some reason that's -- it's not said.
24 Public might misunderstand you about mining -- mining
25 lithium, but in my case, yeah, I can produce about 30

1 tons lithium only, but that's only by importing
2 seawater.

3 It's not much, but it's free byproduct by
4 cleaning the lake, and that's in addition what you can
5 continue doing with extraction of lithium from
6 geothermal brine, but it has to be dike around
7 property.

8 So right now, you need land. You're talking
9 about leasing it, but that you need to shrink lake. So
10 what I'm saying is, make dike. I will send letter to
11 the president, whether it is government or -- to make
12 requirement that any leasing -- you know -- any project
13 that -- well, that require your land has to be with
14 dike around. It's not big deal, but you don't need to
15 destroy lake. Thank you very much for this
16 opportunity.

17 VICE CHAIR KELLEY: Thank you, Mr. Lakic.

18 Elisabeth, do we have any other comments?

19 MS. de JONG: Yes. We do.

20 William Osborn, I have -- you should be able
21 to unmute yourself.

22 MR. OSBORN: Thanks, Elisabeth. Will Osborn.
23 I'm with Geothermal Solutions, and I'm standing in for
24 Will Pettitt, who is the Director of Geothermal Rising,
25 formerly of Geothermal Resource Council.

1 And Will asked me to remind everybody that the
2 Geothermal Rising Conference starts this weekend, and
3 including a lithium panel, that it is occurring Tuesday
4 at 1:30 p.m. to 3:30 p.m., and some of those on screen
5 will be there.

6 Ryan Kelley. Elisabeth will be on the panel.
7 It's been very popular the last couple. So don't miss
8 that. And also, this Saturday there'll be a field trip
9 out to the Valley, I believe visiting Energy Source and
10 some of the geologic features around. So don't miss
11 that.

12 VICE CHAIR KELLEY: Thank you, Mr. Osborn.

13 MS. de JONG: Thank you.

14 VICE CHAIR KELLEY: Elisabeth, is there anyone
15 else wishing to speak?

16 MS. de JONG: Yes, there are. So Cristina
17 Marquez, you should be able to unmute yourself.

18 MS. MARQUEZ: Hello. Can you hear me?

19 VICE CHAIR KELLEY: Yes.

20 MS. de JONG: Yes.

21 MS. MARQUEZ: Great. Good afternoon,
22 Commissioners. My name is Cristina Marquez, speaking
23 on behalf of over 3600 power professionals and
24 electricians of IBEW Local 569 of San Diego and
25 Imperial Counties.

1 Great presentations today, all of them,
2 especially ZEV and lithium batteries. So I know you've
3 heard me speak before, but I just wanted to reiterate a
4 little. We operate the State Certified Electrical
5 Apprenticeship Facilities in San Diego and Imperial
6 Counties.

7 Apprentices and journeymen have been trained
8 in EVITP, which is Electric Vehicle Infrastructure
9 Training Program, since 2014, and ESMTTC, Energy Storage
10 and Microgrid Training and Certification since 2017.

11 So I just wanted to let you know. I know in
12 January we'll be talking about workforce, but I also
13 wanted to get that on your radar, since you guys spoke
14 about that today in your presentations. Our members
15 have built over 2 gigawatts of renewable energy, and
16 the vast majority of these clean energy projects have
17 been built under project labor agreements.

18 These projects have generated good paying
19 union jobs employing local workers, and have provided
20 skilled training and benefits in an economically hard
21 hit region that includes high scoring CalEnviroScreen
22 communities.

23 And I just wanted to thank you for your time
24 today and allowing me to comment. You guys have been
25 amazing and we appreciate the statewide leadership you

1 have brought to us. Thank you.

2 VICE CHAIR KELLEY: Thank you, Ms. Marquez.

3 MS. de JONG: Thank you. We do have another
4 commenter, Hector Meza. You should be able to unmute
5 yourself.

6 MR. MEZA: Hi. Good afternoon, Commissioners.
7 My name is Hector Meza and I am an EBITP and ESMTC
8 certified journeyman electrician. I was raised here in
9 the Imperial Valley. I'm a resident of valley.

10 I went to a state approved electrical
11 apprenticeship here in Imperial Valley through the
12 Joint Apprenticeship Training Committee of
13 Internat4ional Brotherhood of Electrical Workers, Local
14 569, and National Electrical Contractors Association.

15 I help build the IAD's battery storage from
16 Bellwood, and having the opportunity to learn and work
17 while being paid with full benefits for myself and my
18 family means more than anything to the world to me. It
19 has been life-changing.

20 Working on a project like lithium battery can
21 give many other people in this area like me the same
22 opportunities for many ears. Thank you for your time,
23 and have a nice day.

24 VICE CHAIR KELLEY: Thank you, Mr. Meza.

25 MS. de JONG: Thank you. We have another

1 comment from Tom Sephton. You should be able to unmute
2 yourself.

3 MR. SEPHTON: Thank you. Appreciate the
4 opportunity. Since my name was brought up by Mr.
5 Lakic, I'd like to explain a bit. One of the common
6 misconceptions that's out there, very common in social
7 media and being talked about by people in the region is
8 the thought that the Salton Sea is being shrunk for the
9 purpose of making the lithium resource available.

10 And while that may or may not have any reality
11 in the minds of some of the water agencies making those
12 decisions, I would like to point out that it's
13 completely unnecessary for the Salton Sea to be a
14 victim of lithium brine -- lithium recovery from brine.

15 We know perfectly well that the part of the
16 Salton Sea, the southeast corner, is very shallow, only
17 a few feet deep. It's entirely possible to dike off
18 those areas necessary to access the geothermal resource
19 and still have an active and living Salton Sea.

20 And the other thing I'd like to add to that is
21 the geothermal industry is actually the key to being
22 able to solve the challenge of the increasing salinity
23 in the Salton Sea that is actively killing off the
24 fish.

25 There's only a few left in the sea itself.

1 There are some. I've seen them recently, but there are
2 not many. The geothermal, in addition to having access
3 to minerals, particularly lithium, it provides the heat
4 and the power that would be necessary to remove salt
5 from the Salton Sea, and to make it, again, into a
6 truly sustainable resource for recreation, for the
7 wildlife and for the whole region.

8 So the geothermal industry is the key, both to
9 lithium and to a restored Salton Sea. They can and
10 should work together. I've personally spent over a
11 decade in Imperial County developing the technology to
12 do that.

13 It works, and we have new funding to move that
14 forward, and we will be working right next to you to
15 accomplish that end.

16 VICE CHAIR KELLEY: Thank you, Mr. Sephton.

17 MS. de JONG: All right. Thank you, Vice
18 Chair Kelley. At this time since we are taking one
19 comment per person per comment period, that is all of
20 the comments at this time, and we do have a couple
21 written comments in the Q&A, but I believe we will read
22 them during the general comment period at the end of
23 this meeting.

24 VICE CHAIR KELLEY: Okay. And with that we
25 will move onto future meeting discussion. So I -- as

1 we have progressed we've been having some very good
2 information shared monthly, and next month is the
3 environmental impacts, which Commissioner Olmedo and
4 Commissioner Flores are preparing and working with, I'm
5 sure, a detailed presentation for October.

6 We also have incentives in December, Mr.
7 Weisgall and Commissioner Aceves, and then we have also
8 on that slate for December, economic impacts,
9 Commissioner Olmedo and Commissioner Flores. January,
10 workforce development, Chairperson Paz and Commissioner
11 Castaneda.

12 And then February it would be nice to have a
13 suggestion for that. It's still to be determined. We
14 have three topics that are remaining to be scheduled,
15 one being benefits to geothermal plants; another being
16 challenges to lithium extraction and
17 legislative/regulatory recommendations.

18 I would ask if Commissioner Scott or
19 Commissioner Hanks are comfortable about a February
20 scheduling for the benefits of or to geothermal plants.

21 MS. de JONG: Commissioner Hanks is having
22 technical issues, but he should be able to unmute
23 himself and speak.

24 VICE CHAIR KELLEY: I think I heard him say
25 yes, Elisabeth.

1 COMMISSIONER HANKS: Yes, I'm okay with it.

2 VICE CHAIR KELLEY: Okay. That was just me
3 divining what you were thinking, Jim. And the others,
4 to move forward at another time, but we can pencil in
5 February for the benefits of or to geothermal plants.

6 Are there any other topics, speakers or
7 presentations that the Commission would like to bring
8 forward? No? All right. Before we move onto the
9 general public comment, there were a couple of
10 inquiries that were brought up.

11 One was -- and I was meant to share more
12 information about the November 17th Community
13 Engagement Meeting. So Chairperson Paz and
14 Commissioner Olmedo, Assembly Member Garcia and the
15 Energy Commission staff have been planning on a
16 Community Engagement Meeting, and that, as it was
17 shared earlier, will not be -- staff from the Energy
18 Commission will not be on site.

19 This will be a hybrid and it is being planned
20 as some physical locations in Coachella Valley and
21 Imperial County, but available by Zoom, electronically,
22 virtually, for anyone. And I wonder if Commissioner
23 Olmedo would like to elaborate on some of those
24 conversations. Okay. Maybe not.

25 COMMISSIONER OLMEDO: Hi. There was, as I'd

1 mentioned I guess earlier, I brought up the fact that
2 the team there at the Energy Commission had reached and
3 I paired them up with, you know, our team here who has
4 quite a bit of expertise.

5 You know, we often refer to them as community
6 health workers or from a part of the Salud (phonetic).
7 As I recall, I think Leon Stein (phonetic) and
8 Leadership Council, Russell, provided some of their
9 teams to be able to help inform on, you know,
10 strategies and ways to reach the hard to reach
11 population and ways to be culturally appropriate, and
12 you know, address the language barriers.

13 There are other local partners that also
14 participated in, if I recall, I want to make sure I
15 recall them correctly, but I think our Roots Multi-
16 Cultural Center, we know him as John Hernandez, who is
17 head of that organizations, as well as Eric Reyes
18 through Los Amigos de la Comida, and I'm trying to
19 recall if Equity and Justice Coalition also
20 participated, but maybe not.

21 But yeah, I just, again, want to commend the
22 Energy Commission for, you know, for doing two things.
23 One is to reach out and find out, you know, who are the
24 key organizations, and local voices to help inform a
25 well-informed, productive community engagement.

1 Also, part of the dialogue I think it was
2 bringing some of the lessons learned, and I think it
3 was also brought up earlier by one of the public
4 commenters that, you know, challenges that are there
5 between what's happening with the Salton Sea, what's
6 happening in the Lithium Commission, where there's also
7 a lot of lessons learned there in terms of the
8 engagement that has happened, and the Salton Sea
9 efforts through the California Natural Resources.

10 So some of that conversations happened. But
11 again, you know, that's just sort of eye level, you
12 know. Certainly, if the Energy Commission team there
13 wants to elaborate more on that, but you know, we'll
14 see.

15 We're going to learn from this first one. So
16 we'll see what -- you know -- what opportunities there
17 are. Hopefully, it won't be the first. Hopefully,
18 it'll be the first of many.

19 VICE CHAIR KELLEY: Okay. And then another
20 thing for future meetings, I heard Rod echo something,
21 and Jonathan had brought this up early. The Commission
22 -- Energy Commission staff, this idea between
23 extraction and recovery definition.

24 Do we want to resolve that? And it was shared
25 with me that there will be a glossary to this report.

1 And so do we want to have it agendized to have a
2 further conversation about what we're talking about? I
3 look to you, Rod. You brought it up today.

4 COMMISSIONER COLWELL: Yeah. I think, you
5 know, lithium recovery, you know, I mean, DLE is quite
6 a common term. So I don't need to build and/or. We're
7 talking about the same process, just terminology. So
8 I'm -- you know -- I'm easy either way. We can have a
9 -- I don't know whether it's an agenda item, but you
10 know, have a talk about it.

11 VICE CHAIR KELLEY: Jonathan. You're muted,
12 John.

13 COMMISSIONER WEISGALL: I raised this at one
14 of our earlier meetings. Certainly, we know that we're
15 not talking about mining. I realize that Cameron, you
16 know, I mean, he's kind of used to talking about
17 mining, which really shows how wonderful Imperial
18 Valley's going to be, because it's certainly not
19 mining.

20 You know, I talk about recovery. I think --
21 when I think extraction I think of, you know, pulling
22 something out from the ground. But I think it probably
23 is just something semantic. I'll make my own
24 recommendations for our report.

25 So certainly, when I talk about it, I talk

1 about recovery, but I don't think -- that may not be a
2 distinction with a huge difference. But I do think
3 it's certainly something we ought to resolve for the
4 report we get to the legislature at some point.

5 Indeed, maybe the resolution could be that we
6 use both terms. I don't know. So I'm --

7 VICE CHAIR KELLEY: Is anyone --

8 COMMISSIONER WEISGALL: -- not too helpful,
9 but those are my thoughts.

10 VICE CHAIR KELLEY: So as -- and Jonathan, you
11 had brought this up from the get-go, and I heard Rod
12 bring it up today. So is there anyone reluctant to
13 have this as a discussion on the next agenda, because
14 the terminology should be consistent, clear text, let
15 everybody know what we're talking about and we're
16 talking the same thing. So is anybody in opposition of
17 change -- having that conversation?

18 COMMISSIONER OLMEDO: Chairman, I just --
19 didn't have my hand raised. I just want to also just
20 remind us that we had had this conversation early on,
21 and I think at that time we opted to just stay
22 consistent with the legislation about this Commission
23 and deliver what was expected.

24 I think it named it as, if I recall,
25 extraction. But I mean, I -- at that time it was

1 whatever was consistent with the legislation. And so
2 is your ask, we want to bring it back, that same
3 discussion? Because I think I also heard that there's
4 misinformation.

5 So I think that -- if I interpret that
6 correctly. I don't want to, you know, misunderstand
7 what was the attempt that was -- but to me it was just
8 more about just being perhaps more consistent in
9 clarifying.

10 But I don't recall if Tom Sephton was the one
11 that brought it up. I certainly will reach out to him
12 and try to better understand so -- what specific
13 information, but I assume that it's overall. You know,
14 there's no misinformation.

15 So I'm not sure if it's just specific to the,
16 you know, extraction or the word recovery, I assume,
17 but I -- we had already had this conversation. But you
18 know, I mean, if you want to bring it back, you know --

19 VICE CHAIR KELLEY: Sure.

20 COMMISSIONER OLMEDO: -- I'm not against it.

21 VICE CHAIR KELLEY: Right. No. It's on the
22 meeting notes for me, Luis, that I need to bring this
23 back for discussion with all of you to see if you want
24 to have it on the next agenda. And there will be a
25 glossary of terms, and so the definitions can be shared

1 with us.

2 And if there's a conflict with the authorizing
3 legislation, then that can be discussed, as well. But
4 without seeing anybody in protest, let's just put it on
5 for next -- the next meeting. It shouldn't be a long
6 discussion. Well, maybe it will. I don't know.

7 Okay. Elisabeth, is that good enough for
8 direction?

9 MS. de JONG: Yes. I think that was great.
10 If there's nothing else to move, to talk about under
11 this item, we can go to public comment.

12 VICE CHAIR KELLEY: Okay. I almost caught you
13 laughing there, didn't I. No? Okay.

14 MS. de JONG: No, I don't do that. Thanks,
15 though.

16 VICE CHAIR KELLEY: All right. Then now, we
17 have come to general public comments.

18 MS. de JONG: All right. Great. So if you're
19 joining us by Zoom on your computer please use that
20 raise hand feature, and if you've called in, please
21 dial *9 to raise your hand and *6 to unmute your phone
22 line.

23 First, we'll go to the hands raised in the
24 Zoom application, and then to the phones and then to
25 the written comments.

1 I have a hand raised from Nikola Lakic. You
2 should be able to speak.

3 MR. LAKIC: Hello, can you hear me now?

4 MS. de JONG: Yes.

5 MR. LAKIC: Hello. Yeah. Thank you for this
6 second opportunity. My name was mentioned by Tom
7 Sephton, so I have to respond it. I was talking about
8 the facts. The facts is that your motion, your call is
9 really production of the lithium by extracting it or --
10 well, from brine, just from brine.

11 And it's your own interest to have lake less
12 shrink like smaller lake. So call it perimeter lake.
13 So that's the fact. The fact is also that whenever you
14 talk about the media and Tom Sephton never is mentioned
15 really consequences of it to the public.

16 So it's just what was -- my point is this,
17 that it is integral part -- extraction of lithium and
18 long-term solution for Salton Sea and that should not
19 be separate issues. And I mount proposal that I am
20 uniting it. And just be patient. Wait for the report.

21 Will be next year, or at least don't make some
22 serious decision yet, because what -- if you continue
23 what you're doing, we are going to lose lake, period.
24 Yeah, that's the fact.

25 MS. de JONG: All right. Thank you.

1 VICE CHAIR KELLEY: Thank you, Mr. Lakic.

2 MS. de JONG: We have other -- another hand
3 raised. Nicole Colwell, You should be able to speak,
4 unmute yourself. Nicole, if you're trying to speak, it
5 looks like you're still muted on our end. All right.
6 Well, I'll come back and see.

7 Nikola Lakic, if you -- sorry. We are trying
8 to limit to one comment per topic, sir, but --

9 MR. LAKIC: I know, but just if I may say
10 regarding Tom Sephton. I don't mean to be this kind of
11 sound, well, dialogue or confrontation, but he's
12 talking about diking that area. I would take this as
13 endorsement of my proposal, because that's what I'm
14 pushing from 2013, and it's well documented, and he is
15 welcome to see it. But thank you very much.

16 MS. de JONG: Thank you.

17 All right. So then I'll go over to the
18 written comments. There was a written comment earlier
19 in the meeting today. It's from Michael Marsden that
20 says, "What are we doing to accelerate," I believe
21 regulatory was the word there, "approval to capitalize
22 on the current market?"

23 And another comment that was written in, it
24 says -- so this comment is from Mariela Loera, from the
25 Leadership Counsel. They want to comment in support of

1 Commissioner Ruiz's earlier suggestion of a community
2 targeted docket.

3 I would add that we need to -- sorry, she --
4 would add that we need to insure that it is accessible
5 to the community and agree that it should be made
6 available in a printout version and would add that this
7 printout version is made available in community
8 centers, parks and churches.

9 This material should be made available in
10 Spanish and should consist of accessible language
11 instead of technical language, having a consistent
12 space monthly or every two months, like you are doing
13 with these meetings, but that is -- but that instead is
14 targeted at communities is also important.

15 This space should be left technical, but still
16 address some of the unanswered questions and concerns,
17 as well as actively make residents a part of the
18 decision-making process. Let me just quickly check. I
19 don't see any other written comments or raised hands at
20 this time.

21 VICE CHAIR KELLEY: Okay.

22 COMMISSIONER WEISGALL: Just a quick comment,
23 if I could, in response to one of those written
24 questions.

25 VICE CHAIR KELLEY: Go ahead.

1 COMMISSIONER WEISGALL: The Michael Marsden,
2 what are we doing to accelerate regulatory approval to
3 capitalize on the current market. Just two points.
4 We've covered one, which is right now jurisdiction for
5 permitting a lithium plant in Imperial County falls
6 with the Planning Division, and that division has been
7 working very hard.

8 They've processed energy sources, EIR quite
9 quickly. The second point is that even though we have
10 a report due to the legislature next fall, Assembly
11 Member Garcia is the head of a select committee on the
12 lithium economy.

13 And should there be issues that we think are
14 of critical importance that cannot wait until the fall
15 of 2022, that committee is open for business. Staff is
16 accessible, and I think they would entertain any ideas
17 to accelerate that regulatory approval.

18 I don't think anyone is talking about making
19 end runs around CEQA. Certainly, when you look at the
20 1388 page report that Energy Source put out, that is
21 CEQA complaint. Whether you're at the county or in
22 Sacramento, you still have CEQA, But those are, I
23 think, two answers to Mr. Marsden's question.

24 VICE CHAIR KELLEY: Thank you, Commissioner
25 Weisgall.

1 MS. de JONG: there are no other public
2 comments at this time. Thank you.

3 VICE CHAIR KELLEY: Thank you, Elisabeth. And
4 I see that we have the general public comments. Are we
5 to go into that, as well, now, Elisabeth?

6 MS. de JONG: We can certainly take a pause
7 and see if there are any additional hands raised. I am
8 not seeing any hands or comments coming into the Q&A.
9 So I think we're okay to move on.

10 VICE CHAIR KELLEY: All right. Well, thank
11 you for all your comments. At this moment I would like
12 to adjourn the meeting. The next meeting is for
13 October 28th, 2021. Without any other comment, this
14 meeting is now adjourned. Thank you for your time.

15 (Adjourned at 5:11 p.m.)

16

17

18

19

20

21

22

23

24


25

REPORTER' S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 21st day of October, 2021.




PETER PETTY
CER**D-493
Notary Public

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 21st day of October, 2021.



Elizabeth Reid-Grigsby
Certified Transcriber
AAERT No. CET**D-145