

DOCKETED

Docket Number:	21-IEPR-06
Project Title:	Building Decarbonization and Energy Efficiency
TN #:	240147
Document Title:	Transcript - Session 2 - 8-26-21 for IEPB Commissioner Workshop on Building Decarbonization
Description:	Transcript - 8.26.21:Session 2 - IEPR COMMISSIONER WORKSHOP ON BUILDING DECARBONIZATION EMBODIED - Refrigerants
Filer:	Raquel Kravitz
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	10/25/2021 2:01:45 PM
Docketed Date:	10/25/2021

APPEARANCES

COMMISSIONERS

Commissioner J. Andrew McAllister, 2021 IEPR Lead
Commissioner
Commissioner Siva Gunda, California Energy Commission
Commissioner Cliff Rechtschaffen, California Public
Utilities Commission

PUBLIC ADVISOR'S OFFICE

Dorothy Murimi

PRESENTERS

Aanchal Kholi, California Air Resources Board
Nicholas Janusch, CEC
Christina Torok, CPUC
Samuel Cantrell, CEC
Helen Walter-Terrinoni, Air Conditioning, Heating, and
Refrigeration Institute (AHRI)
Ankur Maheshwari, Rheem
Max Wei, Lawrence Berkeley National Lab
Alex Hillbrand, Natural Resources Defense Council
Michael Lau, Yosemite Foods

IEPR TEAM

Heather Raitt

PUBLIC COMMENT

Jennifer Lu, SoCal Gas

1 so are available on the meeting notice. Written comments
2 are due on September 9th.

3 With that, I'll turn it over to commissioner
4 Andrew McAllister. Thank you.

5 COMMISSIONER MCALLISTER: Thank you, Heather. I
6 wanted to just again, start out thanking you and your team
7 for putting together another day of really substantive and
8 thought-provoking panels. This is really great. This
9 morning, we had a substantive and thought-provoking and I
10 think highly relevant panel around embodied carbon in our
11 built environment.

12 And I think a lot of good things will come from
13 the basis that was built by that conversation this morning
14 and going forward. I think a lot of good work needs to be
15 done with urgency. And again, we have to frame all of what
16 we're doing in the context of accelerating climate change.

17 So, this afternoon, another facet of that large
18 relatively complex topic; decarbonizing our entire economy
19 and within that the built environment; we are obviously
20 leaning on electric technologies as a key enabler of
21 decarbonization and none more important than heat pumps for
22 space and water heating particularly.

23 And one, I just thank the Efficiency Division
24 staff for putting together the workshops today and the
25 whole building decarb track of this year's IEPR. Really

1 fantastic work by Mike Sokol and Christine Collopy leading
2 that division, and Jennifer Nelson her team and the
3 Existing Building shop, our appliances team, our Building
4 Standards Office, just a lot of effort.

5 And Kristy Chew as well is really cobbling
6 together all of these different topics and making sure that
7 people have the information they need when they need it.
8 So, just thanks to the whole team, it's really a massive
9 team effort. Even though it may look seamless and
10 effortless on the surface, it's really not. We all know
11 what a huge effort it is and how much competence it takes.

12 So, one aspect of our electrification journey is
13 the fact that we'll have increasing amounts of refrigerants
14 out there in these heat pumps, in these various compressor
15 cycles and refrigeration generally, and then heat pumps.

16 As many of you know, the commission recently
17 adopted the 2022 update to the Title 24 Part 6, the
18 California Building Energy Efficiency Standards, and those
19 really make a landmark pivot toward heat pump technologies
20 and electrification generally, trying to prepare our
21 building stock for a more electrified future really
22 increasingly, deeply electrified future.

23 And so, the refrigerant conversation comes to the
24 fore pretty quickly there and both in the Building
25 Standards update, the analysis behind that, and then an

1 analysis behind our also recently adopted Assembly Bill
2 3232 assessment. The global warming impact of high global
3 warming potential refrigerants is a big chunk of the
4 problem.

5 And we actually quantified, I think it's 10 or so
6 gigatons of CO2 equivalent that is in play here across the
7 state in our refrigeration impact. And so, which is I
8 think a quarter or so of the overall ... it's about 10 to
9 15%, I think of the overall, global warming impact of the
10 building sector itself.

11 If you take into account the electric emissions,
12 the electric generation system emissions, and as well as
13 the onsite emissions of gas combustion. So, I think
14 refrigerants are 12 or so gigatons of that overall, roughly
15 a hundred. So, I think they're going to be increasingly
16 important. Our policy is pushing heat pumps as an enabling
17 technology for de-carbonization.

18 And so, alongside that, we really need to build
19 the infrastructure to manage the refrigerant challenge.
20 And so, lots of different ways to do that, moving towards
21 low GWP refrigerants, making sure that we capture the
22 refrigerants that are in the system and manage the leakage.
23 And so, we're going to talk about all of these topics
24 today. I'm not the expert here, so I want to make sure we
25 do get to the experts.

1 But we wanted to put together this panel just to
2 kind of put these themes around refrigerants, kind of in
3 one place and create a foundation for discussion.

4 Now, the Air Resources Board really has primary
5 jurisdiction here, and I just want to acknowledge that
6 right out of the gate. And there is a statutory framework
7 around this issue and we'll hear about that.

8 Today, certainly, we'll be hearing from ARB and I
9 just want to in advance of the conversation, thank Aanchal
10 and her colleagues for being with us, really appreciate
11 that. And our job at the Energy Commission is to have kind
12 of a productive sharing of ideas and coming up with
13 strategies potentially, but really just collaborating
14 across the agencies on all these different issues and with
15 the PUC and the Air Resources Board, and any other agency
16 including the Building Standards Commission and others to
17 just get and be on the same page around these issues. So,
18 I think this is a great opportunity to share information
19 and ideas.

20 With that I'm pleased to be a company on the dais,
21 virtual dais by Commissioner Siva Gunda. And I wanted to
22 pass the microphone to you, Commissioner Gunda in case you
23 want to make some opening comments.

24 COMMISSIONER GUNDA: Yeah. Thank you,
25 Commissioner McAllister. I think you really captured what

1 we heard this morning really well, and as I mentioned this
2 morning, I'm in a learning mode today and it's been really
3 helpful to hear the conversation around the embodied
4 carbon.

5 I think a couple of takeaways that you already
6 mentioned that I think are worth noting for myself; it's
7 just that there's a large range in the embodied carbon in
8 the existing stock of buildings, and that really points to
9 the opportunity of reducing embodied carbon. And also, the
10 importance of ensuring that the existing building stock is
11 really utilized to the maximum, and the incremental cost of
12 decarbonizing the buildings from an embodied perspective is
13 not that much more.

14 And I think those are points that I would
15 establish this morning. And it's helpful for me to
16 understand those things. So, looking forward to listening
17 to our colleagues from CARB and the broader conversation
18 this afternoon. And I know Commissioner Rechtschaffen is
19 also on the dais Commissioner McAllister. So, thank you.

20 COMMISSIONER MCALLISTER: Sorry, there you are,
21 Commissioner Rechtschaffen, and sorry about that. You were
22 on my second page and I didn't see you. Would you like to
23 make any opening comments? Thanks for being with us again.

24 COMMISSIONER RECHTSCHAFFEN: I just want that cup
25 of coffee that you had at the start of the ... that's the

1 problem with these virtual meetings. If we were meeting in
2 the Energy Commission auditorium, I know that staff would
3 provide us with pads, pens, briefing documents, and coffee,
4 and now we're left to our own devices.

5 I'm delighted to be here to join you for the
6 second panel. Of course, the regulation of refrigerants
7 and buildings is something that crosses into our
8 jurisdiction. We'll hear from folks at the PUC as well as
9 the Energy Commission and CARB this afternoon. And I very
10 much look forward to the discussion.

11 COMMISSIONER MCALLISTER: Okay, thank you,
12 Commissioner. Really appreciate your being with us. So,
13 with that, I don't have any further comments and really
14 looking forward to getting to the substance of the day this
15 afternoon. So, Heather, you want to kick us off with the
16 first panel?

17 MS. RAITT: Yeah. So, our first panel's on
18 refrigerants, the current status and what's needed. And
19 I'm happy to have Aanchal Kohli here from the Air Resources
20 Board, and she's an Air Resources Engineer where she's
21 currently working on fluorinated gas emission reduction
22 strategies.

23 And Aanchal has a doctorate in environmental
24 science and engineering, and a master's and bachelor's
25 degrees in mechanical engineering from UCLA. So, go ahead

1 Aanchal.

2 MS. KHOLI: Thank you, Heather. Good afternoon,
3 everyone. Like Heather said, I currently work on emission
4 reduction measures for fluorinated gases, particularly
5 hydrofluorocarbons or HFCs as we like to call them at CARB.

6 I'll start today's discussion with a brief
7 overview of the upcoming AB 32, 2022 Scoping Plan. And
8 then I'll discuss current and proposed HFC measures in
9 place to meet our state's climate goals.

10 Next slide, please.

11 AB 32 directs CARB in coordination with other
12 state agencies to develop the AB 32 Scoping Plan. The
13 Scoping Plan is an actionable plan that lays out cost-
14 effective and technologically feasible paths to ensure we
15 made our state's GHG reduction targets.

16 Each Scoping Plan includes a suite of policies, is
17 economy-wide, and spans many years. The first Scoping Plan
18 was released in 2013 and subsequent updates have been
19 released at least once every five years. The next one is
20 upcoming in 2022. The Scoping Plan is designed to provide
21 GHG and air pollution emission reductions.

22 Next slide, please.

23 The 2022 Scoping Plan update will require us to
24 redefine our scope of sources and sinks in the framework of
25 carbon neutrality. Simply put, carbon neutrality is

1 achieved when emission sources equal sinks. Up until now,
2 every Scoping Plan has focused on reducing emissions from
3 sources.

4 As we shift to the framework of carbon neutrality,
5 we will expand the scope to include additional sources as
6 well as sinks. Sinks include natural and working lands,
7 carbon capture and sequestration, and direct air capture,
8 and permanent storage of CO2 from the atmosphere.

9 As a scale of the climate crisis becomes clearer,
10 it also becomes clearer that merely reducing emissions will
11 not be enough, but that we will need to more actively
12 reduce GHGs from the atmosphere.

13 Next slide, please.

14 We kicked off the 2022 Scoping Plan update with a
15 series of workshops in June. The plan will be considered
16 by the board in late 2022. The 2022 plan differs in
17 content and purpose. The 2030 SB 32 target is in statute
18 and we must reduce GHG emissions by at least 40% from 1990
19 levels by 2030. So, we will be assessing progress towards
20 the 2030 target.

21 We recognize that 2030 is a milestone to achieving
22 carbon neutrality by midcentury. We cannot wait until 2031
23 to start planning for 2045 because the level of
24 transformation needed across economy is unprecedented. And
25 we need to start planning for that now.

1 Next slide, please.

2 Given that the 2022 scoping plan looks out over 20
3 years, this Scoping Plan will have the longest planning
4 horizon of any previous version. And we are also
5 evaluating a path to achieve carbon neutrality by 2035 per
6 direction from Governor Newsom. We must consider achieving
7 near term air quality benefits and longer-term greenhouse
8 gas benefits.

9 As I mentioned, CARB is currently hosting Scoping
10 Plan workshops, and there is a short-lived climate
11 pollutant focused workshop, which will include a discussion
12 on HFCs. That's coming up soon and I'll talk about that
13 later. I'll now switch to HFC emission strategies and
14 sources.

15 Next slide, please.

16 Many of you may already know this. I'll just
17 cover it very briefly. What are HFCs? HFCs are synthetic
18 fluorinated compounds most commonly used in refrigeration
19 and air conditioning. They're also used in some other end-
20 uses in small amounts.

21 HFCs are the fastest growing greenhouse gases
22 worldwide. One of the reasons they are growing so rapidly
23 is because they're replacing ozone-depleting substances,
24 such as hydrofluorocarbons and chlorofluorocarbons that
25 have been phased out per the Global Montreal Protocol.

1 Although HFCs are not ozone-depleting, they're
2 powerful short-lived climate pollutants with very high
3 global warming potential values. California's legislature
4 recognized the importance of reducing HFC emissions and in
5 2016, passed SB 1383, which requires CARB to reduce HFC
6 emissions, 40% below 2013 levels by 2030.

7 Next slide, please.

8 This graph shows HFC emission trends in California
9 from 2005 up to 2040 and the relative contribution of
10 emissions from each main end use. This graph accounts for
11 emissions with existing regulations in place, without which
12 emissions would be even higher.

13 Refrigeration and air conditioning depicted in
14 pink and dark blue are the two largest sources of HFC
15 emissions. And air conditioning in particular is projected
16 to grow rapidly over the next couple of decades. This is
17 because of the phase out of ozone-depleting substances, as
18 well as an increased demand for cooling.

19 This data is from CARB's F-gas Emission Inventory.
20 CARB developed the first bottom-up state specific inventory
21 in the world.

22 Next slide, please.

23 Now, I'll cover existing and proposed regulations
24 to reduce HFC emissions. I'll discuss two of the larger
25 HFC measures in place, the refrigerant management program

1 and Senate Bill 1013, and then I'll move on to our proposed
2 regulations, which we're in the process of finalizing. And
3 then I'll briefly discuss national as well as international
4 action on HFCs.

5 Next slide, please.

6 CARB adopted the Refrigerant Management Program in
7 2009. One of the largest contributors of HFC emissions as
8 you saw in the graph earlier are stationary refrigeration
9 systems such as those found in supermarkets, cold storage
10 warehouses, and industrial process facilities. The
11 refrigerant management program requires facilities to
12 register and report annual refrigerant usage, conduct leak
13 inspections, and repair refrigerant leaks promptly.

14 Next slide, please.

15 In 2018, the legislature passed Senate Bill 1013,
16 the California Cooling Act. SB 1013 maintains high GWP
17 prohibitions adopted by the federal government in 2015 and
18 2016. These were partially vacated at the federal level in
19 2017, following a legal challenge and California adopted
20 them to prevent a rollback. These rules include high GWP
21 HFC prohibitions for refrigerants used in a wide range of
22 applications.

23 SB 1013 is an important measure in moving towards
24 the state's SB 1383 target. However, more action is
25 needed.

1 Next slide, please.

2 Moving on to our proposed HFC measures; in
3 December of 2020, the CARB Board adopted HFC measures
4 affecting stationary refrigeration and air conditioning,
5 which if you remember from the graph earlier were two
6 largest sources.

7 I'll start with stationary refrigeration.
8 Starting January 1st, 2022, all new facilities with
9 refrigeration systems containing more than 50 pounds of
10 refrigerant will be required to use refrigerants with a GWP
11 less than 150. This includes the same facilities regulated
12 under the Refrigerant Management Program. Supermarkets,
13 cold storage warehouses, and industrial process facilities.

14 Additionally, CARB is also placing company-wide
15 emission reduction targets for existing supermarkets, which
16 are responsible for the majority of emissions from the
17 refrigeration sector.

18 Next slide, please.

19 Next, I'll discuss the new rules for stationary
20 air conditioning equipment. This is the first time AC
21 equipment is being regulated in the nation. CARB placed a
22 750 GWP limit on all new air conditioners and space
23 conditioning heat pumps; residential as well as non-
24 residential. Many alternative refrigerants used in air
25 conditioning under the 750 GWP limit require a change in

1 the building codes.

2 Because of the expected date for building code
3 updates, AC equipment have staggered effective dates
4 ranging from 2023 to 2026. Smaller ACs have a 2023 date,
5 while larger systems have a 2025 or 2026 effective date.

6 Next slide, please.

7 As part of the proposed regulation, CARB
8 introduced a new program; the Refrigerant Recovery, Reclaim
9 and Reuse, or R4 program. AC manufacturers will be
10 required to use at least 10% recycled refrigerant between
11 2023 to 2025 or 2026, depending on equipment type.

12 Recycled refrigerant can be used in new equipment
13 or in servicing existing equipment. This will promote
14 refrigerant recovery at the end of life, which is the
15 largest source of emissions for AC equipment and will
16 enable a more resource-efficient circular economy.

17 The proposed regulations are the first of their
18 kind in the nation.

19 Next slide, please.

20 Moving to national and international action. At
21 the end of 2020, the U.S. Congress enacted the American
22 Innovation and Manufacturing Act of 2020. The AIM Act
23 directs EPA to address HFCs by providing new authorities in
24 three main areas: to phase out production and consumption
25 of HFCs, refrigerant management of existing systems, and

1 facilitating a transition to next generation technologies.

2 Globally, the Kigali Amendment to the Montreal
3 Protocol, which has been in effect since 2019 is a global
4 HFC phase down that has been ratified by over 100
5 countries. While the US has not yet ratified the
6 agreement, the phase down and the AIM Act will accomplish
7 the Kigali agreements phase down goals. And HFC phase down
8 was identified in CARB's short-lived climate pollutant plan
9 as one of the strategies necessary to meet the state's SB
10 1383 goals.

11 Next slide, please.

12 Next, I'm going to briefly discuss HFC emissions
13 from building decarbonization. This is a plot from the
14 recent report by Energy and Environmental Economics that
15 was prepared for CARB, depicting several scenarios to
16 achieve carbon neutrality by 2045.

17 In the scenarios depicted, high GWP gases are
18 projected to be among the largest remaining sources of
19 greenhouse gases as indicated by the dark green blocks.
20 Thus, reducing HFCs is critical not just for meeting our
21 2030 mandate, but also for meeting the state's carbon
22 neutrality goal.

23 Additionally, like Commissioner McAllister
24 mentioned, HFCs are further expected to increase as
25 refrigerant containing heat pumps are widely adopted. This

1 topic will be explored as part of the short-lived climate
2 pollutant focus Scoping Plan Workshop on September 8.

3 Next slide, please.

4 Lastly, I will discuss CARB's existing incentive
5 program and the need for coordination on future incentives.

6 Next slide, please.

7 Senate Bill 1013 established the first incentive
8 program dedicated to increasing the adoption of low GWP
9 refrigerant technologies. We received \$1 million in 2019
10 and launched an incentive program shortly after.

11 The bill also directed other state agencies; CPUC,
12 CEC, as well as the Community Department of Services and
13 Development to consider low GWP refrigerants in existing
14 programs. Going forward, there's a need for coordination
15 on HFCs for building decarbonization efforts to ensure that
16 we adopt low GWP heat pump technologies as much as
17 possible.

18 Next slide, please.

19 In conclusion, to meet our specific mandate,
20 additional action is needed, especially actions to meet our
21 2030 target as well as action to meet our state's long-term
22 climate goals. We will be discussing some of these next
23 steps as part of our upcoming Scoping Plan workshop on
24 September 8th, for which I included a registration link.

25 Thank you very much.

1 MS. RAITT: Thank you so much, Aanchal.

2 So, our next presenter is Nicholas Janusch, and
3 he's at the Energy Commission, and he's works in the Energy
4 Assessments Division, and he is one of the primary authors
5 of the AB 3232 California Building Decarbonization
6 Assessment Report. So, go ahead Nick.

7 MR. JANUSCH: Thank you. Good afternoon. Thank
8 you, Heather, for the introduction.

9 Today, I will present some results from the AB
10 3232 California Building Decarbonization Assessment. And
11 why focusing on refrigerant leakage matters both for
12 achieving the state's 2030 emission goals and long-term
13 emission goals beyond 2030.

14 Next slide.

15 This report was developed as a result of Assembly
16 Member Friedman's authored Assembly Bill 3232 in 2018. The
17 primary directive of AB 3232 is for the Energy Commission
18 to assess the potential to reduce greenhouse gas emissions
19 from residential and commercial building stock by at least
20 40% below 1990 levels by 2030.

21 Other considerations in the assessment include the
22 cost per metric ton of decarbonization strategies, the cost
23 effectiveness of space and water heating decarbonization,
24 challenges associated with the decarbonization and low-
25 income multi-family and high-rise buildings, load

1 management strategies, and impacts to ratepayers,
2 construction costs, and grid reliability.

3 The Energy Commission formally adopted the final
4 report a few weeks ago at the August 11th business meeting.
5 I will give a quick summary of the results, but the focus
6 of my talk is on the impacts of refrigerant emissions.

7 Next slide, please.

8 As for the quick summary, staff first developed
9 two greenhouse gas baselines needed to account for a
10 reduction relative to 1990 levels. Both baselines include
11 emission sources from onsite fuel combustion, refrigerant
12 leakage, and behind the meter gas leaks, and any electric
13 generation emissions from the incremental loads from
14 building electrification.

15 The key difference between the two baselines is
16 whether to include 1990 electric generation emissions
17 attributed to buildings or to focus strictly on onsite
18 emissions. So, after establishing the two GHG baselines,
19 staff identified seven key strategies to decarbonize
20 buildings.

21 These strategies include building electrification,
22 electricity generation decarbonization, energy efficiency,
23 refrigerant conversion and leakage reduction, distributed
24 energy resources, decarbonizing the gas system, and demand
25 flexibility.

1 Staff also identified variables, which impact the
2 success of these strategies ranging from cost to equipment
3 availability to workforce preparedness, to building
4 conditions, and more. Using these strategies, staff then
5 assessed several GHG reduction scenarios.

6 Next slide, please.

7 I'll now summarize some of the results of our
8 assessment of the different analyzed scenarios. A major
9 takeaway message from the assessment is that even although
10 some decarbonization strategies may be more cost-effective,
11 to go the distance to reach the state's emission goals
12 require technological transformation through build
13 electrification, particularly through existing buildings.

14 This figure summarizes the potential reduction of
15 GHG emissions in 2030 for each of the nine analyzed
16 building decarbonization scenarios, relative to both the
17 direct and system-wide 40% reduction emission targets.

18 All these impacts in 2030 are relative to our
19 business-as-usual case that is based on the 2019 IEPR
20 California Energy demand forecast, which already embeds
21 many of these decarbonation strategies.

22 Starting on the left, we see incremental gas
23 energy efficiency from four different illustrations
24 scenarios in green, and renewable gas scenario, incremental
25 electric energy efficiency, incremental rooftop PV, and

1 accelerated renewable electric resources. The four green
2 building electrification scenarios vary by the rate of
3 electrification penetration in new and existing buildings
4 by 2030.

5 The efficient aggressive electrification scenario
6 is a modification of the aggressive electrification
7 scenario where staff handpicked the most efficient electric
8 appliance to be installed. So, for example, for water
9 heating, instead of any electric water heater replacing a
10 natural gas water heater, the scenario assumes an efficient
11 heat pump water heater is installed.

12 Also, in this figure, we see two horizontal lines
13 representing the two 40% GHG reduction targets. The red
14 line represents a system-wide emissions baseline target,
15 which includes electricity generation system emissions in
16 the 1990 base year.

17 This means if you're measuring a 40 percent
18 greenhouse gas reduction relative to the system-wide
19 baseline, then a successful scenario in 2030 must avoid 5.5
20 million metric tons of carbon dioxide equivalent.

21 The other horizontal line is the more aggressive
22 dash black line above, which represents the direct
23 emissions baseline target. It is not based on including
24 electricity generation system emissions in 1990. A
25 successful scenario for this direct emissions baseline

1 target would need to reduce emissions in 2030 by 22.1
2 million metric tons of carbon dioxide equivalent.

3 We present both of these baselines since the
4 legislation does not recommend one and suggest that the two
5 approaches are valid. So, both have merits and reporting
6 both provide different perspectives.

7 A takeaway from this figure is that the
8 electrification scenario and renewable gas scenario reached
9 a system-wide baseline target, but none of the scenarios
10 reached the direct emissions baseline target. However,
11 there's more emission reduction potential for all these
12 scenarios from refrigerant mitigation efforts from SB 1383.

13 Next slide, please.

14 As the 2016 Senate Bill 1383 established economy-
15 wide goals for 2030 for short-lived climate pollutants such
16 as methane, hydrofluorocarbons, and black carbon. These
17 HFC emissions have significantly high global warming
18 potential relative to carbon dioxide.

19 To examine the effects of SB 1383 meeting its 2030
20 goal of 40% reduction from 2016 levels by 2030, staff
21 approximated the impacts of this outcome solely for
22 residential and commercial buildings. Staff did this by
23 using data provided by CARB staff and approximated an
24 extreme all or nothing case, a with and without SB 1383 HFC
25 goals being met.

1 This approximation adds about 7.5 million metric
2 tons of carbon dioxide equivalent of reduction in 2030.
3 So, how does this look in our figure?

4 Next slide, please.

5 The impacts are shown by the diagonal pattern
6 regions on the top of each decarbonization scenarios bar.
7 Again, the diagonal pattern boxes represent an all or
8 nothing case in 2030 for reducing hydrofluorocarbons, HFC
9 emissions from refrigeration and air conditioning in the
10 building sector.

11 In actuality, with the state's current effort, the
12 amount of HFC of emission reduction is likely somewhere in
13 between these two extreme cases. As such, there are two
14 important takeaways I want you to walk away with from this
15 figure.

16 The mitigation of HFC refrigerant leakage is
17 absolutely essential and instrumental for the state to
18 achieve its 2030 decarbonization goals for buildings. And
19 when assessing GHG reductions relative to the black dash
20 direct emissions baseline target line, only the two
21 aggressive electrification scenarios with assistance from
22 HFC reduction achieve this 40% GHG reduction target.

23 More discussions of the costs and cost-
24 effectiveness are contained in the final report. But
25 please note that the net cost of these two aggressive

1 illustration scenarios are roughly \$40 billion, which
2 translates to roughly \$140 per metric ton for emissions
3 reduction.

4 Next slide, please.

5 But that figure and takeaway only shows a snapshot
6 of emissions happening in 2030 and not the long-term
7 consequences. Moreover, CARB staff commented that the HFC
8 reductions called out in SB 1383 in 2016 did not address
9 the increased usage from moving to new electric heat pumps.

10 As a recap, there are two sources of refrigerant
11 leakage; annual leakage, and end of life leakage, where
12 most of the leakage happens with end-of-life venting. For
13 the assessment, staff estimated that for all our
14 electrification scenarios, the incremental increase of HFC
15 leakage in 2030 was less than half a million metric ton of
16 carbon dioxide level.

17 But since the newly installed heat pump equipment
18 is assumed to have an average useful life of 15 years, the
19 impacts from any end-of-life leakage occurs outside the
20 study's time horizon, and thus is not quantified in 2030.
21 As such, when considering the long-term consequences of HFC
22 emissions beyond 2030, it is likely quite significant.

23 According to the E3 study developed for the Air
24 Resources Board in October, 2020, the emissions from these
25 high GWP and non-combustion sources dominate in 2045 and

1 are significant even in their zero-carbon strategy
2 scenario.

3 Next slide, please.

4 So, to summarize, the AB 3232 Building
5 Decarbonization Assessment showed that the mitigating HFC
6 refrigerant leakage is critical and essential in achieving
7 the state's 2030 building decarbonization goals. The
8 assessment did not focus on what occurs beyond 2030,
9 particularly end of life venting of newly installed heat
10 pump technologies, and that the long-term consequences
11 beyond 2030 from not addressing HFC refrigerant leakage is
12 likely significant.

13 As such, the CEC will track CARB's actions on
14 refrigerant emissions when modeling building
15 electrification.

16 Next slide, please.

17 Thank you. And that concludes my presentation.

18 MS. RAITT: Thank you, Nicholas.

19 So, our next speaker is Christy Torok. Christy is
20 a Senior Regulatory Analyst at the California Public
21 Utilities Commission. She joined the CPUC and the Energy
22 Efficiency branch in 2016 and has been part of the emerging
23 trends section ever since. She works on statewide program
24 administration, market transformation, normalized meter
25 energy consumption, and refrigerants.

1 Go ahead, Christy.

2 MS. TOROK: Thank you, welcome. I'm here to talk
3 about some developments at the CPUC and policies related to
4 refrigerants.

5 Next slide, please.

6 So, my presentation today begins with the basics,
7 which my co-presenters have covered. So, some of it will
8 be repetitive, but and then I'll touch on SB 1013, and then
9 move to really the meat of why I'm here, which is to share
10 out the nuts and bolts of the CPUC policy and some of the
11 key decisions that have been adopted recently.

12 And then talk about the implications in the near
13 term on our energy efficiency portfolio, distributed energy
14 resources in general, and then some upcoming changes that
15 are pretty exciting as we move towards new metrics for our
16 accomplishments and our goals under the energy efficiency
17 portfolio.

18 Next slide, please.

19 So, just ABCs of refrigerants here. Of course,
20 refrigerants are in many common appliances, including heat
21 pumps, which are front and center in our building
22 decarbonization efforts. And they're also in refrigeration
23 equipment and air conditioning equipment.

24 And as an example, one commonly used refrigerant,
25 410-A, has more than 2000 times the global warming

1 potential of carbon dioxide, and bottom line is that the
2 refrigerant-related emissions from heat pumps would be a
3 good portion of a building's lifecycle, an all-electric
4 building's lifecycle emissions.

5 Next slide, please.

6 A few more just basics that hopefully are useful
7 to someone here; refrigerants only contribute to global
8 warming when they leak. And this is most likely to occur
9 at the end of life particularly in the residential sector
10 on removal of old equipment and installation of new ... not
11 terribly uncommon for there to be illegal venting.

12 But refrigerants also have some small amount of
13 leakage that occurs during their lifetime and during their
14 use.

15 There are new low global warming refrigerants that
16 are much less destructive to the environment and are
17 becoming increasingly available in the US. So, for
18 example, in contrast, R-410A which has 2000 the global
19 warming potential of carbon dioxide, R-441A has only five
20 times. Engineers in the audience, I have no idea if those
21 two are interchangeable or not.

22 But yeah, as Aanchal shared out, CARB is working
23 on methods to reduce refrigerant leakage and policies to
24 promote and celebrate these low global warming potential
25 refrigerants.

1 Next slide, please.

2 I want to highlight that in Senate Bill 1013,
3 passed in 2018, that legislation directed the Public
4 Utilities Commission to consider developing strategies for
5 low GWP refrigerants in the equipment and project measures
6 that it sponsors through the energy efficiency portfolio.

7 Next slide.

8 So, really the tenants or the goals of our
9 refrigerant policy at the CPUC, is we understand and
10 believe that tracking and managing refrigerant leakage is
11 really key to achieving our building decarbonization and
12 greenhouse gas reduction goals. We believe that an
13 accurate assessment of costs and benefits of all
14 distributed energy resources should account for the
15 greenhouse gas impacts associated with these refrigerants.

16 We want our policy to evolve with practices as
17 leakage rates may change over time., and contexts may
18 change due to policies rolling out from the Air Resources
19 Board and the California Energy Commission.

20 And so, ultimately, refrigerant-related avoided
21 costs are integral to our cost-effectiveness assessments
22 for all of our building decarbonization and energy
23 efficiency programs.

24 Next slide, please.

25 Now, I'm going to move on to the nuts and bolts of

1 what exactly did we do, what do we adopt.

2 Next slide.

3 So, in 2020, so every two years, we do what we
4 refer to as a major update to our Avoided Cost Calculator,
5 which is used by all of the distributed energy resources,
6 kind of to assess what using this energy efficiency measure
7 or other demand response intervention, what costs did we
8 avoid?

9 And so, in 2020, they had a major update and, in
10 that update, they included a new type of avoided cost,
11 which is something that hasn't happened for a long time.
12 And it doesn't happen often. And this new type was related
13 to emissions from both methane and refrigerants.

14 And so, to support this, they wanted to adopt this
15 new type of avoided cost and to implement that, built the
16 Refrigerant Avoided Cost Calculator. This is a
17 spreadsheet-based tool. It's available on CPUC website, or
18 you might have to go to E3 right now because I don't think
19 our website's not like at 100% yet.

20 A spreadsheet-based tool that you enter in the
21 type of equipment, the amount of refrigerant, the type of
22 refrigerants, maybe something about the building type and
23 equipment type -- and then it will provide back in net
24 present value in dollars, the damage to the environment
25 that is related to that over the lifetime of that equipment

1 that you represented in the input.

2 So, this calculator is a standalone calculator.
3 The methane side of things is also integrated into our
4 avoided cost, but that is done under like a larger umbrella
5 of things. The refrigerant avoided costs are done in a
6 separate calculator.

7 And then for energy efficiency, we have now
8 expanded our cost effectiveness tool to take outputs from
9 the Refrigerant Avoided Cost Calculator and can be entered
10 into that cost-effectiveness tool.

11 Next slide, please.

12 So, also recently, there was a decision in the
13 energy efficiency proceeding D.21-05-031, which is the
14 energy efficiency reform decision. And in that decision,
15 which brings a lot of very major and important changes.
16 So, I encourage everyone to go and look at it if you
17 haven't yet.

18 But also, in that decision, we direct the program
19 administrators to begin using this refrigerant avoided cost
20 calculator tool in their portfolio forecasts and filings
21 for energy efficiency. We also directed them to submit new
22 and updated work papers for low GWP refrigerant equipment
23 beginning in program year 2022.

24 And so that does mean that our fuel substitution
25 workpapers...so, those that calculate the savings and the

1 cost effectiveness of removing a gas water heater say, a
2 piece of gas equipment and replacing it with piece for
3 electric equipment, which applies to a lot of heat pump
4 water heaters.

5 We also asked them to consider and incorporate
6 strategies to support low GWP refrigerants in their
7 upcoming business plan filings. And those are coming
8 February of 2022. Sorry about that. These are like long-
9 term strategic documents that guide the year-to-year
10 portfolio. So, it's a long-term planning document.

11 The one that will be filed next and the sort of
12 first one of its kind, out of the reform decision and it
13 will cover 2024 to 2031. And they're going to update that
14 every four years. So, even though it's an eight-year
15 planning document, it will be updated every four years.

16 And we also just generally encourage program
17 administrators to seek out all of the cost-effective
18 opportunities to incorporate low GWP measures in their
19 portfolios. So, right now, the program administrators are
20 focused on the process of updating their deemed measures to
21 incorporate the avoided costs related to refrigerants.

22 Next slide, please.

23 So, some of the things that we haven't done that
24 we are looking to do or will be done over the horizon is to
25 address ways to integrate into our programs' goals,

1 credits, requirements around responsible disposal of used
2 refrigerant, refrigerant recycling, and reducing existing
3 equipment refrigerant leakage.

4 So, we'll be looking to have more in-depth, get
5 more focused discussion and input from stakeholders on
6 those topics moving forward.

7 Also, our Codes and Standard Building Code
8 Advocacy teams are starting to scope, work along with the
9 Energy Commission for the upcoming 2025 code cycle. And I
10 believe that that they're considering ways to address
11 refrigerants. So, we might see some exciting stuff on the
12 horizon there.

13 Next slide.

14 So, what to expect around the energy efficiency
15 portfolio in the near term, and then over a little bit
16 longer timeline.

17 Next slide.

18 So, now, that we've adopted this Refrigerant
19 Avoided Cost Calculator, what does that do? Well, right
20 now, because it contributes to our calculation of the
21 avoided costs, which are essentially the benefits of
22 measures, it will affect the cost-effectiveness assessments
23 of projects and measures that contain refrigerants. And
24 there will be greater cost-effectiveness for projects and
25 measures that use low GWP refrigerant.

1 Where a high GWP refrigerant might be standard and
2 you replace it with a lower GWP refrigerant version of the
3 equipment, then that would be incorporated in your total
4 resource cost ratio, or your cost-effectiveness
5 calculation. So, we expect that that will encourage more
6 use of low GWP refrigerants in the portfolio, but there's
7 more, and I think what is even more exciting.

8 Next slide, please.

9 So, also in that EE reform decision, we adopted a
10 new metric for setting goals for the program administrators
11 and for the program administrators to submit claims against
12 those goals. So, in the past, we've used KWh, kW in therms
13 to set goals. And then we had cost effectiveness
14 separately, and those were two separate requirements.

15 But going forward, we'll have Total System
16 Benefit, which reflects all of the operating costs of the
17 grid and associated with a given piece of equipment. There
18 was a whole separate presentation ... I'm stumbling a little
19 bit because it's a little bit complicated. I hope some of
20 you were able to see, I think on Tuesday, Jessica Allison
21 did a whole presentation on Total System Benefit. And I
22 have her information up in case anyone has specific
23 questions on that.

24 Next slide, please.

25 So, here's a better, more specific definition.

1 So, Total System Benefit represents the avoided cost of all
2 the operations, management, and maintenance of the energy
3 grid. And this will include the avoided cost of emissions
4 from refrigerants.

5 And what that means is that our EE portfolio
6 administrators will get equal credit for creating avoided
7 cost, whether that be through efficiency or through
8 reduction in greenhouse gas emissions from using low GWP
9 refrigerants.

10 So, it's a very powerful evolution. And we want
11 to work really closely with CARB and the Energy Commission
12 to make sure that as we move into this new paradigm, that
13 we're working together and making sense about how all of
14 these will work together.

15 So, those are the challenges, but this is I think
16 a big deal and really positive overall.

17 Next slide.

18 Oh, I'm done. Okay, thank you.

19 COMMISSIONER MCALLISTER: Thank all of you, so
20 much really appreciate the really context and all the good
21 work; Aanchal, Nick, and Christina. I really appreciate
22 that.

23 I don't have any specific questions, but I just
24 want to say how optimistic I am about making coordinated
25 progress on this issue.

1 And they're sort of speaking slightly different
2 languages, but across all three agencies, we've really
3 heard that we are looking at the refrigerant issue through
4 similar lenses in a way that's internally consistent.

5 So, I think that's important to keep in mind going
6 ahead and just keep the cross-agency collaboration going.
7 And finally, I just wanted to call out Christina, you
8 mentioned the CASE effort, the Codes and Standards
9 Enhancement teams that are funded with ratepayer money
10 through the large investor owned utilities and work
11 collaboratively with the Energy Commission.

12 And I just want to call that out as a really great
13 example of coordination for the benefit of our climate
14 enterprise. In that case, the building sector and the code
15 development. And the same applies for the Appliance
16 Efficiency Standards as well.

17 I just want to call out ... really make a note of
18 thanks to the Commission, to the PUC and just point that
19 out as a really great foundational coordinated effort that
20 helps us reach our state policy goals. So, thanks for
21 that.

22 Maybe that's more to Commissioner Rechtschaffen
23 directly. So, thanks for supporting the CASE work. I
24 don't know if my colleagues have any questions,
25 Commissioner Gunda, Commissioner Rechtschaffen?

1 COMMISSIONER RECHTSCHAFFEN: Christina did talk
2 about this. I don't know if you are familiar with how
3 we're dealing with incentives under SB 1477, and in our
4 heat pump water heater proposals under SGIP to provide
5 higher incentives for equipment that has low global warming
6 potential. Have you filed that, Christina?

7 MS. TOROK: I haven't. This is the first I've
8 heard of it, but it will make sense for any cost
9 effectiveness calculations that those programs should be
10 reflected. They all have to use this new Avoided Cost
11 Calculator for refrigerants. So, that will help
12 substantiate those additional incentives. Sounds like a
13 really good idea.

14 COMMISSIONER RECHTSCHAFFEN: So, I don't know the
15 exact details, some of which we've just proposed. Like we
16 have a proposal for a \$45 million program for heat pump
17 water heaters in our SGIP program. And we have a ruling
18 out for comment, we're working through public comments.

19 But in that program in particular and just
20 generally, we're thinking we have in mind that the strong
21 conclusions that Nicholas talked about in the AB 3232
22 report, that refrigerants are a source of high global
23 warming pollutants in the building sector.

24 And we want to encourage the manufacturer and
25 adoption of appliances with the lowest GWP. So, that's a

1 policy direction we have very much in mind and we're going
2 to be implementing over time.

3 In addition to the excellent work that Christina
4 talked about; about how approaching energy efficiency
5 programs, the Total System Benefit changes the whole
6 calculation about fuel substitution and allows much more
7 shifting to electric appliances, because we are now
8 measuring not just therms reduced, as she said, but GHG
9 benefits and system benefits, including avoided refrigerant
10 emissions.

11 So, that that's very, very important work. I
12 think it fits nicely in with more direct regulation from
13 the CEC.

14 COMMISSIONER MCALLISTER: Thank you for that,
15 Commissioner. And we have been, the compliment to the TECH
16 program, the BUILD program that the Energy Commission is
17 just getting close to rolling out -- we've also had a
18 similar conversation.

19 And in the program environment, I think we have a
20 really great opportunity to kind of keep just ahead of the
21 marketplace and put those incentives in place, making sure
22 that there is supply chain for the products that do have
23 the low GWP refrigerants so that it doesn't impose too much
24 of a burden and it doesn't slow things down, but that it
25 does push the marketplace in that direction pretty clearly.

1 So, I think this is an area where collaboration
2 across our kind of complementary programs is imperative and
3 very helpful. So, thanks for that.

4 There is a question in the chat, the Q&A here from
5 Robert Glass. And I'll just take advantage for this panel.
6 So, this would be for Christina, I think; does the RACC,
7 the Refrigerator Avoided Cost Calculator take into account
8 that most equipment will use a lower refrigerant charge
9 than current higher GWP refrigerants? This should have a
10 lower impact accordingly.

11 MS. TOROK: I believe that the calculator will
12 take ... you enter in the charge and the type of refrigerant
13 and the amounts and the equipment. So, if you have a lower
14 charge requirement, as long as you are reflecting that in
15 the inputs.

16 We are looking to make refinements to that
17 calculator that we rolled out. It was first rolled out in
18 2020 and this next major update to the Avoided Cost
19 Calculator in 2022, we're working within the commission to
20 try to scope in some updates to that. So, we appreciate
21 stakeholder participation in that, the scoping is going on
22 right now.

23 COMMISSIONER MCALLISTER: Thanks a lot. I have a
24 question for Aanchal. Well, it could be for anyone, but
25 perhaps Aanchal with the technical expertise really that

1 you have.

2 Could you give us just sort of a general idea of
3 the evolution towards the sort of mid-level, hundreds GWP
4 and maybe the flammability question in there, because that
5 seems to be one thing at the federal level that's holding
6 things back because these partially flammable refrigerants
7 that seem to have more use in Europe and other places, but
8 sort of have a stumbling block here in the US.

9 MS. KHOLI: Yes, I'd be happy to provide some
10 input on that. So, I guess you're right. There's a lot of
11 lower GWP refrigerants that will be considered for
12 refrigeration and air conditioning are classified as A2L
13 refrigerants or mildly flammable refrigerants, and they
14 have taken off internationally. They're common in Europe,
15 in Asia, in Australia.

16 One of the reasons that they've been slower to be
17 adopted here is because the types of systems that we have
18 in the US are a little bit different. So, when you look at
19 countries like Asia or Japan, the air conditioning systems,
20 for example, tend to be a lot smaller. They tend to use
21 mini-splits, window ACs, portable ACs, a lot more.
22 Whereas, the US, you have large central systems.

23 So, just by the nature, the architecture of the
24 types of systems, we just use a lot more refrigerant
25 charge. So, that's one of the impediments to that.

1 And the other impediment has been ... and I think
2 one of the speakers later in the second panel will also
3 talk about this. It's just the US is a little bit slower
4 to the way that risk is viewed in this country is a little
5 bit different from other countries. And generally, there's
6 been more resistance to adopting flammable refrigerants
7 because of the way that risk is perceived.

8 But things are progressing and we do hope to see
9 the Building Codes being updated relatively soon. I hope
10 that answered your question.

11 COMMISSIONER MCALLISTER: Yes, it did. Thank you
12 very much. And I have some other questions of a technical
13 nature, but I think we have another panel that will be
14 perfect for asking those questions as well.

15 I think there's great opportunity to have the
16 lowest GWP refrigerant, which would be CO2. There are
17 systems that use that as a refrigerant. Got one in my own
18 house and the they're still not quite accessible to
19 everyone, but they show a lot of promise. And I think if
20 we can sort of leapfrog to very low GWP refrigerants, then
21 that would help a lot. But thanks so much.

22 I wanted to ask any other questions from the dais?
23 Commissioner Gunda, any questions? Going once, going twice.
24 Commissioner Rechtschaffen, nothing else?

25 Okay, great. Alright, well, we're right on time.

1 So, thank you all for a great set up for our next panel. I
2 really appreciate the engagement participation and really
3 looking forward to collaborating across our agencies going
4 forward. So, thank you very much.

5 MS. RAITT: Great. Thank you, Commissioner. And
6 again, thank you to Aanchal, and Nicholas, and Christina.
7 So, this is Heather, and now we're going to move on to our
8 next panel. As Commissioner mentioned, is on low global
9 warming potential refrigerant.

10 And Samuel Cantrell is going to be moderating, and
11 he is a Senior Mechanical Engineer in the Energy
12 Commission's Standards Compliance Office. Sam worked in
13 the Heating Ventilation, Air Conditioning and Refrigeration
14 industry for 20 years prior to joining the CEC.

15 He's worked on the end user side, designing
16 refrigeration systems for Raley's supermarkets, as well as
17 working for manufacturing companies, consulting firms, and
18 design-build contractors. So, Samuel, go ahead. Thank
19 you.

20 MR. CANTRELL: Thank you, Heather. I do bring a
21 unique perspective coming from the private sector and
22 spending most of my career there prior to coming to the
23 Energy Commission. And I can tell you that the grocers and
24 people representing the food chain industries are
25 cautiously watching what we're considering in all these

1 regulatory efforts and trying to weigh the decisions of
2 whether to go with these new generation of low GWP gases
3 which might mean that they are able to keep some of their
4 existing equipment or going to natural.

5 Which would definitely mean they'd have to replace
6 everything and weighing that very nuanced decision ahead of
7 them and what comes out of the Energy Commission and the
8 Air Resources Board definitely has a huge impact on that.

9 **I** think probably they're all worried that they're
10 going to find themselves in the position that Raley's was
11 in ... when I got hired there in 2003, they were on the
12 downhill run of changing out all their ODPs. And I think
13 we got to about 92% of our ODP inventory in all of our
14 stores was changed out. And then the bad news came that
15 our precious lily pad that we had jumped to, R404A was the
16 highest GWP gas available. And we were kind of back to
17 square one again.

18 And so, it's a big decision and it has a huge
19 impact especially for all of those California-based
20 businesses, they're definitely ... came with a lot of
21 unprecedented competitive pressures. And they're trying to
22 navigate through these challenging times.

23 So, have patience with them. They're going to be
24 looking to us for leadership and direction, and we've got a
25 great panel here to give them some great information.

1 So, our first speaker that I'd like to introduce
2 is Helen Walter-Terrinoni. She's the Vice President of
3 Regulatory Affairs at the AHRI, which represents more than
4 90% of the US manufacturers of HVAC equipment and water
5 heating equipment.

6 She's also currently a co-chair of the UN Montreal
7 Protocol Insulating Foams Technical Options Committee, and
8 a member of the Technical and Economic Assessment Panel.
9 She holds a master's degree in chemical engineering with a
10 concentration in environmental engineering from Syracuse
11 University.

12 She spent seven years in the development of next
13 generation, low global warming potential foam expansion
14 agents and refrigerants, including examining impacts of
15 insulation in energy usage. So, go ahead, Helen.

16 MS. WALTER-TERRINONI: Thank you very much. And
17 thank you for having me today. So, the introduction for me
18 really should have said I'm a massive refrigerant technical
19 and policy geek. And I'm going to answer some very nerdy
20 questions about refrigerants as well as provide some very
21 down to earth basic solutions.

22 I'm also going to give you all a to-do list. So,
23 I hope you don't mind that I'm going to do that. You can
24 go to the next slide. Thank you.

25 So, we heard from Aanchal a little bit about the

1 background around moving forward from the Montreal Protocol
2 to the American Innovation and Manufacturing Act. I will
3 tell you that there were articles last week in Nature and
4 Science talking about the monumental success of the
5 Montreal Protocol as a climate agreement.

6 And I will tell you that one of the reasons that
7 it has been so successful is there is significant
8 stakeholder input and significant stakeholder support.

9 You can go to the next slide. Thank you.

10 So, you may know that the phase down of supply and
11 production of HFCs is required under the American
12 Innovation and Manufacturing Act of 2020, and also the
13 Kigali Amendment to the Montreal Protocol. So, you can see
14 the graduated steps down in supply as you go through the
15 next 15 years down to 85% reduction in 2036.

16 You can go to the next slide. Thank you.

17 So, the HFC phase down is designed to create this
18 imbalance. So, this economic imbalance between supply and
19 demand. Of course, with reduced supply economics, there's
20 scarcity and increased prices.

21 And you can go to the next slide.

22 So, I'm going to tell you a little bit about a
23 chaotic transition and the lessons learned in Europe.

24 Next slide. Thank you.

25 So, the Montreal Protocol step down I just showed

1 you is depicted here in the orange line to the right.
2 Europe went faster than that, very, very fast. And in
3 fact, in 2018 they dropped the available supply of
4 refrigerant by 37 point a half percent. So, the supply
5 reductions outpace demand reductions.

6 The next slide shows that what happens when that
7 goes on. So, the prices ratcheted up according to the
8 Cooling Post (this is their information) by a thousand
9 percent in that timeframe. There is also a lack of
10 available supply and people didn't really know what to do.
11 So, it was very, very chaotic.

12 And then next slide.

13 We decided that we'd like to not have that happen
14 in the United States, and we'd like to proceed with a very
15 orderly transition. So, the next slide talks about how we
16 plan to do that.

17 So, there are options, of course, doing nothing is
18 not one of them. The next slide kind of shows some of the
19 things that we're working on. So, in order to balance that
20 40% reduction that we anticipate happening in 2024, with
21 the steps down under the AIM Act, we actually have
22 petitioned the EPA to set GWP limits in certain years.

23 We're trying to increase the use of reclaimed
24 refrigerant, reduce charge sizes, retrofit equipment to
25 lower GWP alternatives, reduce leaks, and retailers are

1 working to implement new architectures, so different types
2 of equipment.

3 So, we're trying to balance supply and demand, and
4 we're encouraging everybody in the supply chain to be very,
5 very proactive because everybody impacts each other in this
6 reduction of supply.

7 Next slide.

8 So, these demand reductions are coordinated with
9 the supply reductions. So, in California, the California
10 Air Resources Board, CARB, does have some of these
11 refrigerant bans that the EPA also has tried to implement,
12 and also global warming potential limits. And we've
13 actually petitioned the EPA to limit the GWP, the Global
14 Warming Potential to 750 for refrigerants, in 2025 for air
15 conditioning. The second set of CARB HFC regulations also
16 have this type of regulatory structure.

17 So, the next slide talks about better refrigerant
18 management. And this is the goal of increasing recovery
19 and recycle of reclaimed refrigerants. So, this is where I
20 have a little bit of a to-do list for California.

21 So, one of the things that is kind of a quick
22 action, quick hit item that California could move forward
23 with, is they could contemplate requiring that only
24 recovered and reclaimed refrigerants be used in public
25 buildings.

1 So, in state-owned and operated buildings, use
2 recovered refrigerant. So, this kinda depicts the
3 refrigerant lifecycle. It kinda shows how refrigerant is
4 produced and packaged and shipped, and then used, and then
5 recovered, and then it goes back and it's cleaned up, and
6 then it goes back around again. That's how it should work.

7 There are a lot of competing needs though, and a
8 lot of challenges to this system. Some of the other things
9 that I would suggest that California contemplate are
10 starting an awareness campaign to educate responsible
11 stakeholders on the need for better refrigerant management
12 as a legal requirement.

13 In addition to that, I would suggest to you that
14 this natural phase down of refrigerant, this supply
15 reduction over time is going to help to drive some
16 necessary economic recognitions to encourage the use of
17 reclaimed refrigerant.

18 So, the price is going to go up for the new
19 refrigerants. And so, people will be encouraged to use the
20 reclaimed refrigerants. However, recovery economics could
21 use some support. So, just so you're aware, contractors
22 and technicians are challenged from time perspective to
23 move very quickly through a job.

24 And through some additional training, perhaps they
25 can find a way in their busy workday to choose to address

1 this environmental issue by ... if we set up some things
2 around shipping back to the wholesaler and doing some
3 things around the reverse supply chain.

4 There are also some challenges around availability
5 of cylinders for that reverse supply chain. So, these are
6 some very important things that are going to need to be
7 worked through, and really nobody in the world has the
8 perfect answer for this.

9 I know Washington State is looking at this, and I
10 do hope that California's going to come back and have
11 another fresh look at this next year as well.

12 The next slide will move away from recovered and
13 reclaimed refrigerants to talk about leak management.

14 You may not know this, but according to the United
15 Nations Environment Program fact sheets, about 52% of the
16 global warming potential is used to charge leaking
17 equipment. So, this is a significant issue here in the
18 United States and of course, around the world.

19 I'm going to give you some good news about leaking
20 equipment here, as we go on through our discussion.

21 You can go to the next slide.

22 So, I'm going to talk about the different
23 architectures. This is some different types of equipment
24 that you might see in a grocery store, and the next slide
25 shows how those might transition to alternatives that are

1 lower in global warming potential.

2 You can see here some very large charge sizes, a
3 thousand pounds in some instances. And the next slide
4 shows that some of those types of systems might no longer
5 be in use in the future. So, when Building Codes are
6 updated to allow for the low global warming potential
7 refrigerants to be used, some of these types of systems may
8 go away and folks may look at tighter, smaller systems that
9 are going to leak less inherently.

10 So, I think that that's some of the good news that
11 we'll continue to talk about. The next slide kind of shows
12 the to-do list for EPA under the American Innovation and
13 Manufacturing Act.

14 So, they've got to complete a supply side
15 allocation rule that's going to drive up prices and drive
16 down available supply by October 1st of this year.

17 On the demand side, we have coordinated filing of
18 petitions with a number of other stakeholders. There's
19 about a dozen petitions in the EPA's desk right now for
20 them to work through to implement these demand-side sector
21 transitions.

22 They need to respond to the first batch that we
23 submitted with NRDC and others by early October of this
24 year and indicate whether or not they will move forward
25 with them. The next thing on their to-do list, we expect

1 them to start next year. They've had a lot of work to do
2 around the AIM Act so far around refrigerant management
3 program.

4 So, and again, they encourage very strong
5 stakeholder input, which means they have very strong
6 stakeholder support.

7 The next slide.

8 Now, I'm going to talk a little bit about the
9 question that we heard earlier from Commissioner
10 McAllister. What is the holdup already with these low
11 global warming potential refrigerants?

12 You can go to the next slide.

13 It's the Building Codes.

14 Next slide.

15 So, with lower GWP comes flammability. Although
16 there are some non-flammable refrigerants, like carbon
17 dioxide, they're not suitable for every possible use. And
18 so, unfortunately, and so some of these alternatives are
19 lower flammability, so this pink depicts lower flammability
20 while the red depicts higher flammability.

21 So, you can see on the left-hand side of this
22 graph are the lowest GWP alternatives, but you can see that
23 most of them are in the red and pink area.

24 The next slide.

25 So, what are we doing about this among the supply

1 chain? We started up the Safe Refrigerant Transition Task
2 Force to examine all aspects of the supply chain to ensure
3 a safe transition to low GWP refrigerants.

4 So, everything from the way that it's stored and
5 handled in the plant site to the way that it's installed in
6 equipment and maintained, to the way that it's recovered at
7 the end of life, we are working through all of that and
8 trying to move that forward as quickly as possible, to make
9 sure that all stakeholders are aware of the best before.
10 So, we've got these webinar series, and we're certainly
11 trying to work with everyone.

12 You can go to the next slide. Thank you.

13 So, we've also done more than \$7 million in
14 refrigerant research for these low GWP refrigerants,
15 especially focusing on the lower flammability A2L
16 refrigerants or higher flammability A3 refrigerants. We've
17 found that the A2L refrigerants are actually very difficult
18 to ignite. They have a slow flame speed and a low heat of
19 combustion.

20 You go to the next slide. Thank you.

21 So, you can see here that the heat of combustion
22 is very low and also, the burning velocity is very low.
23 And you can see a comparison here to hairspray and propane
24 on the upper right side of the slide.

25 The next slide.

1 So, what the research has shown is that a
2 refrigerant release, a very significant refrigerant release
3 plus a competent ignition source would lead to an ignition.
4 If you would eliminate one or both of those, you will
5 prevent ignition. And those safety standards have been
6 developed to prevent the combination.

7 You can go to the next slide.

8 So, the standards work together around the design
9 of the equipment and the installation, and all of that is
10 kind of wrapped up and goes into the Building Codes. The
11 next slide kind of shows a little bit more about the
12 Building Codes.

13 So, on the left-hand side of this slide, you see
14 information about the safety standards that are required to
15 be adopted into the Building Codes. And you see the ICC
16 and IAPMO. Those are the National Building Codes along
17 with NFPA, and those have to be adopted into the Building
18 Codes over there way on the right at the state and local
19 level.

20 The next slide shows where we are in California.
21 So, this is the problem. So, we've been through this cycle
22 before and failed to have the safety standards adopted into
23 the Uniform Mechanical Code, which is mandated by statute
24 to be used in California.

25 The International Mechanical Code, there is a pass

1 in the technical committee where that has moved forward
2 successfully and that then needs to be ... but the UMC must
3 be adopted in California. The state Fire Marshal can
4 propose a building code change but they're waiting to see
5 what happens at the UMC.

6 You can see that the deadline for CARB and also
7 potentially at the EPA is January 1st, 2025. The industry
8 generally needs at least six years to transition but has
9 said that they can accomplish this goal with at least two
10 years, between the time that the Building Codes are
11 complete and the implementation of the deadline for the
12 transition for refrigerants.

13 However, you can see that the failure of UMC may
14 create a bottleneck, and there may be a situation where
15 California is the last state in the country that allows the
16 use of low GWP refrigerants because of this bottleneck on
17 the Building Codes So, you can see that this is quite a
18 challenge and this needs to move forward.

19 You can go to the next slide.

20 And I know my time's up, so we'll move very
21 quickly. So, what we're asking people to do all through
22 the supply chain is invest in future success now. Use all
23 the tools in the toolkit, use low GWP alternatives and new
24 equipment, change the architectures in stores, consider
25 smaller charge sizes, retrofit existing equipment to lower

1 GWP alternatives, reduce leaks and use recovered and
2 reclaimed refrigerants.

3 And I think the next slide might be the last. So,
4 you can contact with me with any of your geeky, nerdy, HFC
5 questions, and I'll be very happy to help you with those.
6 Thank you.

7 MR. CANTRELL: Thank you, Helen. As a fellow
8 refrigerant geek, I appreciate that. We'll have time for
9 questions at the end, but we're going to move into our next
10 speaker.

11 Ankur Maheshwari is a senior Project Manager at
12 Rheem Manufacturing Company, and he leads Rheem's global
13 decarbonization projects. He's responsible for developing
14 and executing global decarbonization strategy for Rheem Air
15 and Water Division, where he is bringing about sustainable
16 and energy efficient projects products globally.

17 Prior to joining Rheem, Ankur, worked as Business
18 Unit Manager at Vernay Laboratories managing their printer
19 business. Ankur holds a bachelor of engineering degree in
20 the polymer science and technology from University of
21 Mysore in India. A master's in plastics engineering from
22 University of Massachusetts Lowell, and earned an MBA from
23 the University of Georgia. Go ahead, Ankur.

24 MR. MAHESHWARI: Thank you, Samuel. If you can go
25 to my slides, I think that would be great. If you keep

1 scrolling down, I think it's after these slides. Keep
2 scrolling down, thank you.

3 One more. That's perfect.

4 Thank you very much. Thank you for this
5 opportunity commissioners and thank you to the staff. One
6 more slide, please.

7 Just a Rheem overview; Rheem was found in nearly a
8 hundred years back in 1925. We're the only manufacturer in
9 the world that produces heating, cooling, water heating,
10 pool heating, and commercial refrigeration product. We're
11 the largest manufacturer of water heating products in North
12 America.

13 Since there is a lot of refrigeration experts
14 here, I will focus my presentation on water heating
15 especially on heat pump water heater.

16 Next slide, please.

17 Rheem and CPUC have a shared vision. We have an
18 aligned goal on energy efficiency. We are working very
19 hard and we have a focused goal on increasing energy
20 efficiency of our products and that's a shared goal that we
21 have.

22 Emission reduction; we have very strict goals of
23 our own around emission reduction, both internally as well
24 as externally.

25 Early action; we have dedicated a lot of resources

1 around actions around efficiency, around waste reduction to
2 be more proactive.

3 Consumer choice and affordability; that still
4 stays the center piece of our design philosophy. We want
5 to make sure that consumer both in terms of end user, as
6 well as installers stays centered to our design philosophy.

7 Just talking about refrigerant selection, that's
8 the topic here. Refrigerant selection and the management
9 of refrigerant plays a role in the reduction of emission
10 and decarbonization of the building.

11 I think the selection is important, but the
12 managing of the refrigerant is just as important. As some
13 of the speakers before me already mentioned that the
14 leakage of refrigerant is mainly at the end of the life,
15 and I'll share more what we have done on heat pump water
16 heater.

17 So, as long as we have a good management of how we
18 manage the refrigerant after the useful life of the
19 equipment, that plays a huge role.

20 Gains through energy efficiency, still a key role
21 in sustainable decarbonization of the buildings.

22 Next slide, please.

23 These are some of the things that we keep in mind
24 when we select a refrigerant; installation is very
25 important. And Helen went through some of these, so some

1 of this may seem repetition. Installation is absolutely
2 important. I know Commissioner McAlister talked about CO2
3 unit.

4 Some of the challenges with some of the low GWP
5 refrigerant especially around CO2. We start having
6 challenges with system size especially in the market where
7 we're talking about replacement market. It becomes a big
8 factor when you're replacing especially for water heating
9 or a furnace, when you're replacing a gas furnace, which is
10 very limited footprint.

11 We have to make sure that that footprint is met so
12 that we can replace a more sustainable energy efficiency
13 unit in the same footprint. So, system size is absolutely
14 important.

15 Installation time is important because installers
16 are very particular and it's very important for the
17 installers to ensure that they provide a good service to
18 the end user, otherwise the total cost to the end user will
19 be quite high, and that will impact the payback calculation
20 for the end user.

21 Safety requirement, I won't dwell too much into it
22 because Helen already covered a lot of that.

23 Availability of the key components, that's very
24 important especially when you're designing a system to
25 ensure that when we're selecting a refrigerant, the key

1 components are available, especially around compressors and
2 other things.

3 Market application is another key factor. We've
4 started to see different market applications, especially
5 around combination systems where a system provides both
6 space heating as well as water heating, is one of the key
7 systems where refrigerant selection becomes a very
8 important part.

9 Right now, majority of that market is sold by
10 natural gas and selecting the right refrigerant that can
11 work at a very low temperature and also provide a high
12 outlet temperature is absolutely important. At the same
13 time, we have to make sure that it provides a good payback
14 calculation for the end user.

15 Overall system efficiency, the building owners are
16 always very interested on the commercial side to understand
17 and ensure that they are reducing the cost as well as the
18 consumers are very interested.

19 So, overall, just to summarize, refrigerant is one
20 part of overall emission potential for an appliance, but
21 energy efficiency is still need to be considered,
22 especially when it comes to replacement scenario of gas
23 appliance to an electric or heat pump appliance.

24 Next slide, please.

25 So, I'll talk a little bit in more specificity

1 about heat pump water heater. We have our heat pump water
2 heater, 240-volt heat pump water heater in the market.
3 We're very proud of it. We are introducing a plug-in
4 solution that was mainly introduced for the California
5 market. This is a replacement solution.

6 The picture of the two of them on the right-hand
7 side, those are the plug-in solution. They're 110 volts,
8 and they're designed specifically to replace gas water
9 heater.

10 Next slide, please.

11 So, here's some of the analysis that we have done
12 if you replace a gas water heater. One of the things that
13 we wanted to make sure is we're providing enough hot water
14 because at the end of the consumer buy a water heater to
15 get sufficient hot water, and the plumbers want to make
16 sure that they provide and check that box.

17 So, we designed two systems, two solutions; one,
18 to ensure that it provides the same amount of efficiency at
19 the same time, provides the same amount of hot water. And
20 at the same time, reduces the carbon emissions. So, you
21 can look at it -- the new plug-in heat pump water heater
22 reduces almost 79% of the carbon compared to a gas water
23 heater.

24 And there is no need to compromise on the comfort.
25 So, we continue to innovate in technology to bring solution

1 forward to the market as a need arises in different
2 markets.

3 Next slide, please.

4 We have around 10 systems in field tests for over
5 a year in California. A few of the pictures, and you can
6 see these are common California installation. The
7 challenge we have in water heating is most of the time the
8 installation, water heater installations are in a small
9 closet either outside your house or under a shed outside
10 your house, or tucked in a garage.

11 And if you guys have not seen your water heater
12 lately, then just take a look at it. It's probably tucked
13 in somewhere tightly. So, installation is key for us. So,
14 space becomes an absolutely important thing. So, it is
15 very important for us to ensure that we have a drop-in
16 replacement. So, that's one thing that we are able to
17 achieve is have a drop-in replacement for a gas water
18 heater.

19 So, these are all replacing a gas water heater.
20 We were able to check most of the boxes, all the boxes that
21 the consumer wanted, that we set out to achieve. The
22 biggest one that we wanted to ensure was hot water
23 availability. And we were very happy to get a good rating
24 on that.

25 Next slide, please.

1 Rheem's approach; like I said, we're heavily
2 invested in R&D in low GWP refrigerant technology. And we
3 are very aligned with CARB and CPUC's initiative and need.
4 But our design for heat pump water heater is factory
5 sealed. It's a factory sealed refrigeration system for
6 integrated heat pump water heater.

7 Like you see in the picture, we are getting ready
8 to launch our commercial water heater, which will be a
9 monobloc which is a similar system, which is an integrated
10 sealed system, factory sealed system. The leakage rate on
11 these systems are absolutely low.

12 So, as long as at the end of the life, we ensure
13 that the end of the life is ... the drainage of the
14 refrigerant is done properly. There is very, very little
15 opportunity for refrigerant leakage to happen. We are
16 working on changing over our full stationary AC product
17 line, and same thing on our commercial refrigeration with
18 HTPG.

19 We have an entire team providing input on policy
20 feasibility and timing, and focused on training leak
21 prevention and responsibility end of life management. This
22 is something that Rheem take very seriously. We constantly
23 train installers not only on product installation and
24 features and benefit that are very important for them, but
25 also on how to ensure the end of the life management is

1 done properly.

2 Next slide, please.

3 And that's my time. Thank you very much for the
4 opportunity.

5 MR. CANTRELL: Thank you, Ankur.

6 COMMISSIONER MCALLISTER: Sam, can we go with Max
7 now? I know that we sort of skipped over him?

8 MR. CANTRELL: Sure, absolutely.

9 COMMISSIONER MCALLISTER: Great. I appreciate
10 that. He was waiting for ... thanks a lot. Really
11 appreciate it.

12 MR. CANTRELL: Yeah, I have the order wrong on my
13 end, so I apologize to Dr. Wei.

14 Dr. Max Wei way is a research scientist in the
15 Sustainable Energy Systems Group at Lawrence Berkeley
16 National Lab. His expertise is in techno economic analysis
17 of existing and emerging technologies and modeling future
18 energy systems and scenarios.

19 Currently, Dr. Wei leads two projects based in
20 Central Valley of the state; a project to improve heat
21 resilience and disadvantaged communities called Cal-
22 Thrives, and another to improve climate equity for
23 residents and buildings and transportation. So, Dr. Wei.

24 MR. WEI: Thank you again for the opportunity to
25 present, and I'd like to thank the commissioners;

1 Commissioner McAlister, Commissioner Rechtschaffen, and
2 Commissioner Gunda, and also the previous speakers who have
3 really provided excellent introductions.

4 So, this talk will be a little bit deeper dive on
5 the engineering side on some of the features and costs in
6 terms of the benefits and challenges in the deployment of
7 A3 or flammable refrigerants in residential air
8 conditioning equipment, smaller residential air
9 conditioning equipment. And just showing the team members
10 there below.

11 Next slide, please.

12 And again, we're very thankful to the CEC for
13 their support of this work, which is just wrapping up now
14 this month.

15 Next slide.

16 So, again, the project motivation has been
17 mentioned, is the direct GHG savings that are available
18 from propane also known as R-290 and referred to as R-290.
19 Most of the refrigerant is vented to the atmosphere,
20 unfortunately greater than 80% at the end of life
21 typically. So, this is why it's important for these
22 smaller AC units, 99.9% savings over R-410A, which is a
23 reference HFC high GWP refrigerant, 99.7% over R-32, which
24 is an alternative lower GWP to R-410A.

25 And so, just shown in the plot below is R-410A is

1 a nonflammable Class A1 refrigerant. R-32 can reduce about
2 two thirds of the refrigerant's GWP, but is mildly
3 flammable, Class, A2L. And propane there just would have a
4 whisper of the direct emissions, but is flammable and is a
5 Class A3 refrigerant.

6 Next slide.

7 One of the other motivations is in addition to the
8 fact that the state has the goal and target to electrify
9 heating for building decarbonization, refrigerant emissions
10 will probably grow further from climate change-induced
11 hotter weather and increased AC adoption.

12 So, on the left, it's just showing the shifts in
13 the cooling degree days by climate zone in a BAU scenario
14 from 2015 to 2050. So, you can see the blue shifting
15 upward to the red, and also you can see that essentially to
16 the climate zones are shifting.

17 So, for example, on the right of the coastal San
18 Diego climate is projected to become more like central
19 Sacramento-like weather in terms of cooling demand. And
20 the Central Valley, Fresno area is projected to shift to be
21 more like a high desert. So, even hotter and more cooling
22 demand.

23 So, two things going on here; we expect more
24 demand in existing air conditioning, but also more AC
25 adoption in places which don't normally have air

1 conditioning, such as San Diego and the Bay Area.

2 Next slide.

3 And so, this is particularly relevant for this
4 work because we're talking about small air conditioners.
5 And if people feel discomfort or very hot, they're likely
6 to just go out and get a small air conditioner, something
7 like a window AC.

8 So, the project approach here -- and here, we're
9 jumping into a lot of engineering details, so a little bit
10 different talk.

11 But our first task is to model window air
12 conditioners and mini-split air conditioners for optimal
13 performance using industry standard tools. We also tested
14 six units of small air conditioners, drop-in testing, that
15 is to say, just replacing the reference R-22 refrigerant
16 with propane refrigerant. We tested two units of window
17 AC, two units of package terminal AC, and two mini-split AC
18 units for energy efficiency and capacity.

19 And then third, we estimated incremental equipment
20 costs associated with shifting from reference refrigerants
21 410A and 32 to R-290 propane. Finally, we modeled the
22 lifecycle cost impact in a 30-year net impact analysis,
23 which will save the overall GHG and overall cost impact of
24 our transition to R-290 in these products.

25 And out of scope was a risk assessment of R-290 in

1 small ACs. So, there have been other projects which are
2 focused on the risk assessment. And I think these are
3 described a little bit by Helen or one of the previous
4 speakers.

5 And also, we're not considering small commercial
6 or domestic refrigeration because we're already starting to
7 see units on the marketplace with hydrocarbon and propane
8 refrigerants for those systems, like True is one vendor for
9 that.

10 So, next slide.

11 For those who are not so familiar with room air
12 conditioners or smaller air conditioning units, we're
13 considering mini-split ACs, and these are not self-
14 contained units. So, there is an outdoor unit. Typically,
15 the indoor unit is mounted close to the ceiling as shown
16 here. And these are very common in Asia. And the nominal
17 size here is one to two cooling tons.

18 Packaged terminal ACs or PTACs or Packaged
19 Terminal Heat Pumps are common in motels and hotels. So,
20 you've probably seen them. And they're typically mounted
21 close to the floor. And this is important because if
22 there's any propane, leakage propane will fall -- it's
23 heavier than air, will fall to the ground. And so, there's
24 a greater risk of pooling if there's an ignition source.
25 So, it's less favorable to be mounted lower to the ground.

1 And these are typically less than one ton.

2 And then commonly seen window ACs mount into your
3 window, typically at the lower part of your window. So,
4 they're a little bit intermediate in the vertical height to
5 the other two types. These are self-contained units, and
6 these are again typically below one ton in capacity.

7 So, next slide.

8 So, I'm just going to run through one slide for
9 each of the tasks. So, in terms of the modeling results,
10 we do find that R-290 as it's known is a good refrigerant
11 in terms of thermodynamic properties. The optimally
12 designed window AC, we can achieve a 24% energy efficiency
13 increase over the reference R-32. So, that's the lower
14 right-hand plot.

15 And the second plot here in the upper right, is
16 with a drop-in, you can see that the blue bar, the cooling
17 capacity is degraded a little bit, but with an optimal
18 design, you can recover most of that cooling capacity and
19 achieve within two and a half percent of the original
20 refrigerant's capacity. And there's some details on the
21 lower left that I won't describe.

22 But just as a side comment, the reason that we're
23 using R-22, which is freon, which is an older generation
24 refrigerant, is because the R-22 compressor was compatible
25 with R-290, so we have to use that for this drop-in

1 testing.

2 Next slide.

3 We also did something very similar for the mini-
4 split and got very similar results.

5 So, for the testing results relative to the
6 reference R-22 refrigerant, the optimal R-290 charge yields
7 a small decrease in cooling capacity of about 3 to 6%, but
8 a larger increase in efficiency of around 10%. So, the
9 mini-split example is shown there as a function of the
10 charge on the X axis, we're plotting the capacity and the
11 energy efficiency and the maximal point.

12 So, the summary of that is the optimal R-290
13 charge yields a 5% drop in cooling capacity, but an
14 increase, an 8% increase in efficiency. And on the left is
15 just an image of the LBL air conditioning test chamber.
16 And there's also a refrigeration test chamber alongside
17 that at LBL.

18 So, next slide, please.

19 So, the next thing we looked at was to try to
20 quantify the incremental equipment cost in shifting from R-
21 410A to R-290 or from R-32 to R-290. So, for a mini-split
22 in a window AC, those incremental costs are pretty small at
23 2.5 and 7% respectively. And these are accounting for
24 several factors. First of all, is to upgrade the factory,
25 but the production facility costs for safety features.

1 The compressor change in moving to an R-290,
2 appropriate compressor safety measures and the refrigerant
3 change -- those are shown here on in the bar charts on the
4 right where the net cost impact is a black arrow, and the
5 components, the factory upgrade cost is very small, it
6 turns out. The compressor cost is in orange.

7 Most of the upgrade cost is related to safety
8 measures, and there's actually a cost savings in shifting
9 to the refrigerant for two reasons. Firstly, because the
10 R-290 quantity is lower than the reference refrigerants and
11 also the cost of R-290 is lower than the reference
12 refrigerants.

13 And then moving from R-32 to R-290, we're seeing
14 about half of the incremental increase. So instead of 2.5
15 to 7%, it's on the order of 1.5 and 3%. So, pretty,
16 relatively manageable cost increases in this modeling.

17 Next slide.

18 Okay. So, in terms of the lifecycle cost and net
19 impact analysis, again, these slides are showing/have the
20 assumption of equivalent energy efficiency for R-290
21 relative to the reference refrigerants. And here we're
22 showing the average installed cost increase in blue, and
23 the average lifecycle cost increase in orange as a relative
24 percent.

25 And you can see that all these are pretty much

1 below 5% with this one exception. So, if you look by
2 product type, it's saying that with a \$26 rebate, you can
3 get an installed equipment cost parity.

4 So, this is typically on the order of 300 to \$400
5 to install a window AC. So, it's that rebate and you can
6 see that the lifecycle cost increases, which include both
7 the installed cost and the operating cost. Increase is
8 again, nominally but in the single digit below 5% in all
9 cases.

10 In terms of the cumulative GHG savings, and this
11 is like a technical potential, the savings are 12 million
12 to 38 million in comparing to a baseline refrigerant of R-
13 32 or R-410A. So, it can be relatively significant.

14 Next slide.

15 But the key regulatory barrier is the charge
16 limit. So, the current UL charge limit is pretty stringent
17 at 114 grams, about 0.1 kilogram. The prior ruling from
18 the EPA, which were also based on an earlier UL charge
19 limit had set the maximum at one kilogram. So, currently
20 we're very constrained for the amount of R-290, which is
21 permitted in air conditioning.

22 You can see that the test condition for this
23 report for window AC is shown with the blue star and the
24 gray star is for the PTAC. But the blue star for the
25 window AC is meeting the EPA's 2015 limit. So, that's this

1 curve here.

2 And one other note here is that the IEC, the
3 International Electric Technology Commission has already
4 approved higher maximum charge limits than these EPA
5 limits. So, internationally, the maximum is actually above
6 one kilogram with some room and configuration requirements.

7 So, you can also see that the charge limits from
8 the EPA's 2015 rulemaking increased with capacity and the
9 allowable charge increases with the distance of the height
10 above the floor for the reasons that I mentioned.

11 So, the ceiling-mounted AC has a highest charge
12 and the PTAC has the lowest because it's closest to the
13 floor.

14 Next slide.

15 So, just in conclusion, R-290 has deep reductions
16 in direct GHG emissions. The incremental costs for
17 equipment are in the low to single mid-digit percent
18 increase over R-32 and R-410A. Our equipment modeling
19 shows room for potential energy efficiency improvements
20 over reference refrigerants. And our testing is showing
21 that for window AC, the charge can meet the EPA's 2015
22 charge limit for small AC of below about one ton.

23 And the current UL limit is very stringent of 114
24 grams, but the IAC has moved forward with larger charge
25 limits for R-290. So, again, that goes back to the earlier

1 question to Aanchal, why we're internationally, they're
2 moving forward with A3.

3 So, that concludes my talk. Thank you.

4 MR. CANTRELL: Thank you, Dr. Wei. I know coming
5 from the grocery side, we were anxiously awaiting the day
6 when the charge limits would be raised so we can use them
7 on larger display cases. It shows such promise with its
8 energy efficiency and the cost of the refrigerant being so
9 low. So, it's good information. Thank you very much.

10 Our next speaker is Alex Hillbrand. He's an
11 engineer that has been working on policies related to HFC
12 refrigerants and energy efficiency for six years at the
13 Natural Resources Defense Council. So, Alex, the floor is
14 yours.

15 MR. HILLBRAND: Great. Thank you so much, Samuel.
16 And thanks to everybody else who has preceded me today. I
17 have the benefit of going later in the agenda. So, I hope
18 you'll indulge me if I give more color commentary than
19 facts here about my first favorite thing and my new
20 favorite thing. And this is HFC refrigerants and
21 increasingly building decarbonization.

22 Next slide, please.

23 So, these are two topics, really key to NRDC's
24 vision. By the way, we're an environmental group for those
25 of you who don't know us; national and a strong presence in

1 California as well. These are two key focuses for us and
2 we need to make them play ball together. And so, that's
3 part of the fun that we have ahead of us.

4 So, starting out on HFC's -- this has been
5 mentioned. Aanchal and Helen, both gave you the good news
6 about the AIM Act which is dropping our reliance or our use
7 of HFCs by 85% over 15 years.

8 So, this is a really fast pace of reductions.
9 When we agreed this agreement in Kigali five years ago, we
10 thought we would be starting in 2019. So, we're a little
11 late to the party, but nonetheless, it's happening starting
12 basically in a few months. At the beginning of 2022,
13 we're going to see that supply constriction that Helen
14 mentioned.

15 So, as also as mentioned, we're expecting rather a
16 few upcoming regulations out of EPA, other than this supply
17 reduction. And that pertains to these sector end-use bands
18 as was discussed. And the point that Helen made, and I'm
19 glad she did, is that the purpose of these is to make
20 demand cuts, bring down the eligible uses of HFCs to keep
21 pace with these supply reductions.

22 Also, if you're ambitious enough, and I think
23 collectively, we have been in our petitions to EPA, you can
24 accelerate the transition away from HFCs this way. And the
25 state of California, by the way, has urged EPA to take some

1 aggressive steps, essentially nationalizing some of the
2 great regulations we're seeing out of CARB which is
3 extremely helpful.

4 Another set of regulations, again also, discussed,
5 but I'll hit them quickly; refrigerant management and
6 perhaps some new reuse, recycling, so-called reclaiming
7 regulations. This will go a long way to directly cut down
8 the emissions of HFCs already out in the world by setting
9 leak rate limits, things like that. California is no
10 stranger to this.

11 The 10% reclaim requirement in the new R4 program
12 update hopefully will become something of a template for
13 the federal government going forward.

14 Next slide, please.

15 So, while we're phasing down, we're also phasing
16 up in the world of heat pumps. And so, as others have
17 said, this is an interesting paradigm. And in my view,
18 they're not at all at odds, but we do have to be smart
19 about how we do it. It is indeed likely that refrigerant
20 use is going to rise pretty significantly as we decarbonize
21 the built environment. But it's not all bad news.

22 We can do it. Part of ... I have a couple just
23 small comments here. The one thing folks don't always
24 consider is that most homes in the US, and it's a little
25 different and more varied in California, as Max was getting

1 at, already have air conditioning.

2 So, if you're looking at an air
3 conditioning/furnace combination in an average residence
4 somewhere, replacing that system with a heat pump system is
5 not necessarily bringing in all that much additional
6 incremental refrigerant charge.

7 In fact, if the AC that's there is way too big and
8 you do a better job sizing the heat pump, you might not add
9 any at all. But that's not certain. And we do have to all
10 take some purpose work with our OEMs to make sure that heat
11 pumps are designed to use as little refrigerant as is
12 practical.

13 A quick look at the market today shows wide
14 variability in the amount of refrigerant charged into a
15 heat pump versus an AC, otherwise the same unit. Sometimes
16 there's only 10% more refrigerant. Sometimes there's more
17 than 50% more refrigerant. So, we have to understand
18 better why that is and avoid it when it's not necessary.

19 My last point here is just the very basic point
20 that we're going to do this by transitioning to new
21 refrigerants across heat pumps. But I won't get so much
22 into the particular alternatives today.

23 Next slide, please.

24 So, I, like Helen, have a few to-dos to run
25 through for everybody so that we can phase down while we

1 phase up. First pertains to barriers that we're looking
2 at. Second, a financial means of clearing some of those.
3 And finally, just some good feelings to move forward with.

4 So, next slide please.

5 So, number one problem for me, and I think for all
6 of us who want to make this transition to lower global
7 warming potential refrigerants, as Helen said, is that the
8 California Building Codes, Mechanical Codes in particular
9 are not on track to be updated as fast as they should be to
10 make this transition, given where everybody else is in
11 industry.

12 The standards updates that are needed to make
13 these changes have been agreed at the ASHRAE level, the UL
14 level, they've passed the International Code Commission,
15 ICC recently. So, these are very well-baked 15 years in
16 the making types of changes that we need to see adopted in
17 California to allow these so-called A2L refrigerants, which
18 are climate friendlier onto the market.

19 This is the biggest HFC emitting sector, is this
20 A2L using stationary air conditioning systems and heat
21 pumps as well. So, we really can't move forward until we
22 get this done. And so, it would be really excellent as
23 we're bringing together the refrigerant and the
24 decarbonization stakeholders, to have a broader base of
25 support to ask the leaders in California that need to make

1 this change, hold them accountable and have them make the
2 changes that are needed to do this safely.

3 And it certainly can be done. 30% of the
4 country's population is in a state that has allowed these
5 onto the market. Although they're not quite there yet, but
6 the markets are open and that's the point.

7 Next piece where there's good synergy with these
8 two issue areas is technician training, expansion of
9 workforce, this kind of thing; these new refrigerants,
10 these A2Ls are somewhat flammable, they're also going to be
11 more advanced systems for a number of reasons.

12 It's important to have ... and when we look beyond
13 air conditioning, by the way, and refrigeration, we're
14 talking about CO2 based potentially transcritical systems,
15 more complicated to work on -- we need the workforce that
16 can do it. And so, too with heat pumps, as I think you all
17 know better than I. I've personally had several
18 contractors at my house trying to talk me out of a heat
19 pump which is not the way we're going to do this thing.

20 So, there is an opportunity to kind of move in
21 this direction and cover a number of bases as we work on
22 this HVACR industry workforce.

23 Lastly, there may very well be, there certainly
24 are some incremental capital cost upgrades associated with
25 going to climate friendlier refrigerants. So, we have to

1 do something about that in some cases or deal with it.

2 But in the case of doing something about it, that
3 takes me to my next slide.

4 Next slide, please.

5 So, incentives with regards to HFCs I want to say,
6 first of all, lots of heat pump deployment, market
7 transformation programs. That's all a very great idea.
8 I'm trying to talk at the intersection of issues here.
9 Number one thing to keep in mind is this HFC phase down,
10 this 85% over 15-year decrease, this is really significant
11 and that's federal law.

12 And so, we do have to be careful to make sure that
13 incentive programs except for where we want them to aren't
14 paying for things that are essentially required by some
15 regulation or other, be it federally or California, of
16 course, has many.

17 But there are many reasons that some targeted
18 spending does make sense and expanding that spending does
19 make sense. So, talking about these newer technologies,
20 more costly, big emissions reductions potential that aren't
21 mandated yet.

22 CO2 and supermarkets is a great example and CARB
23 with the (indiscernable) Program has started there, this
24 makes a lot of sense. It particularly makes sense in low-
25 income communities and communities of color. We want to

1 get these facilities transitioned first, so they're not
2 left behind on account of say the higher cost. And then
3 they're saddled with this aging infrastructure.

4 Helen talked about the rising prices of HFCs as
5 the phase down gets going. We definitely want to avoid
6 that.

7 So, another key point which came up a little bit
8 earlier, in our view, heat pump deployment is of the utmost
9 importance in terms of transforming our economy to low
10 carbon.

11 And HFCs also very important, but we've got this
12 major set of regulations happening to start working on
13 that. We don't think that low GWP refrigerants should be a
14 requirement of heat pump deployment incentives programs by
15 way of eligibility, not eligibility criteria.

16 That just risks basically excluding heat pumps or
17 risking slowing those programs down at a very important
18 time. The HFC phase down bit will get there. Kickers
19 though, as I believe CPUC has settled on proposing in some
20 cases; extra money for low GWP sounds great.

21 So, next slide, please.

22 Yeah. So, last point here and reason I'm very
23 happy to join you; I don't think maybe that all of our
24 decarb and refrigerant stakeholders are getting together
25 quite enough, often enough, that is -- this is going to be

1 an interesting time for refrigerant using appliances in
2 their markets and all of this.

3 In my estimation, what AIM Act, the federal phase
4 down says by way of its schedule is that every appliance
5 that uses a refrigerant will need to find a lower GWP
6 alternative. They may not be tomorrow, indeed it probably
7 won't always be tomorrow because the supply phase down will
8 have the effect of sort of getting at the biggest
9 refrigerant users first, which is good.

10 But eventually, if that day comes that we can have
11 a heat pump water heater in every home in America, that's
12 also a lot of refrigerants. So, while they may not be
13 necessarily transitioning first, we definitely need a plan
14 to get everybody moving on to the next generation.

15 And so again, just reiterating though that heat
16 pump deployment is of utmost importance.

17 And with that, I'll take my next and final slide.

18 So, thanks so much to the Commissioners, all of
19 you, I am happy to discuss all of this with you later.

20 MR. CANTRELL: Thank you, Alex. I think Helen and
21 Alex both touched on some really great tools to use as a
22 means of reducing carbon footprint. And it's funny how in
23 my experience, a lot of times those efforts have their own
24 built-in financial incentive, if you establish a culture of
25 conserving resources. And I think a great example of that

1 is something that our next speaker's going to be talking
2 about.

3 I mentioned in my introduction that we ran into
4 kind of a worst-case scenario at Raley's, where we were
5 transitioning away from ODPs. And we got right in the
6 crosshairs of the high GWP gases. And that's kind of made
7 me keen to natural refrigerants in my career since then.

8 And I focused a lot of my efforts and research and
9 training in that realm and one of the landmark
10 installations, I think in our country in transcritical CO2
11 systems, it is actually the baby of Mr. Michael Lau who's
12 our next speaker.

13 He was born and raised in Modesto, California.
14 His parents started Yosemite Meat Company, and Michael
15 spent much of his childhood learning the ins and outs of
16 the meat industry.

17 In Cal Poly, he pursued a degree in agribusiness
18 and a minor in meat science. He went on to earn a PhD in
19 agricultural economics from Texas A&M University, and
20 worked as a professor of agribusiness at Sam Houston State
21 University for six years before returning to California.

22 He holds two wine-related product patents. He
23 consults for marketing and grants in the agricultural
24 field. He's currently a Vice President of Yosemite Foods,
25 a sister company to the original Yosemite Meat Company.

1 So, Mr. Lau, I'm going to turn it over to you.

2 MR. LAU: Thank you. Well, thanks for allowing me
3 to speak this afternoon. It was kind of our last-minute
4 thing with Sam there, but happy to share with you guys some
5 thoughts about transcritical CO2 and our experience from
6 it.

7 I believe I'm the last speaker today, so I'll try
8 to keep it short. And I've given a lot of different
9 presentations being a professor before, and there are no
10 words on my presentation, I think, right? So, if you guys
11 want to slip the slide to the first picture there.

12 So, there's a picture of our control system. I'm
13 going to give you a brief history. We started looking at
14 expanding and building a new facility here in California,
15 back in 2000 and like 16. And with that, we ended up
16 getting multiple refrigeration bids as we would for any
17 contractor for designing this.

18 And almost all of them were traditional bids. We
19 got ammonia, we had cascade systems, and we had freon
20 systems. And then lo and behold, we started looking at all
21 this and one of the companies happened where Sam worked at
22 RSI, they proposed a CO2 system for us, a transcritical.

23 And we're like, "Well, this is interesting. We've
24 never seen this before. It's actually brand new to us."
25 And so, one of our shop managers where he ... he's not with

1 us anymore, but he always said that this is the way we need
2 to go, because if you go any other, you're screwed in the
3 future. You know, with regulations and everything else
4 like that.

5 So, we started investigating and we did a lot of
6 research into transcritical CO2 systems. And after long
7 deliberations and looking at the cost-benefit of it, where
8 the future's going in refrigeration, what we think, we
9 decided to invest in this as we felt it was I guess not
10 future-proof, but the way of the future.

11 I'm not sure if we're smart because we are the
12 first to build a facility this big, or if we're dumb for
13 building a facility this big at the beginning. But we took
14 this leap of faith and picked a good contractor on our side
15 to build it.

16 So, this system powers about 116,000 square feet
17 of refrigerated space in our plant, which consists of
18 medium temperature of 32 to 34 degrees and low temperature
19 of -5 to 0 degrees for freezing. There consists of five
20 different racks. You can probably pick the next picture,
21 show some of the other racks there.

22 But there's five different racks with 13
23 compressors sit in this plant. Everything here has been
24 automated for us. We looked at many aspects of this as we
25 didn't know what to deal with. And some people thought we

1 were crazy and some people were really, really supportive
2 of it because they felt in the industry, this is the way
3 some of the future was going.

4 So, we looked at it and we decided that this this
5 could work well for us and looked at the capital costs.
6 And historically, that's been the main issue in California
7 -- not just California, actually; in all areas that
8 transcritical systems are costly more than ammonia and they
9 were.

10 But we actually saw some benefits from it that we
11 thought in that this is a system that operates like many
12 systems like a freon system or each rack has multiple
13 compressors and we could vary the speed with EFDs, and
14 there was availability of CO2 and it's much safer than
15 ammonia is out there.

16 We would've had over a 10,000-pound charged
17 ammonia, which kicks in a bunch of regulations of OSHA,
18 where the CO2 is relatively limited. And I guess, because
19 it's a little bit newer in types of regulations, we're
20 dealing with the pressures and release for the plant here.

21 So, we took this faith and we built it. And a
22 couple things that we felt made it worthwhile; one, is that
23 is a low greenhouse gas and the lowest thing that helps us.
24 And that this tells a story for the future, we are an
25 efficient plant or a green plant that helps or cares about

1 the environment. And two is the cost as we felt the cost
2 differential between ammonia and CO2 was minimal in the
3 operating cost. What was modeled was similar to what we
4 would expect from an ammonia system.

5 Now, we don't have a direct comparison because we
6 didn't have ammonia at this plant here. So, it was hard to
7 tell. I think we felt that that was one of the biggest
8 challenges back in the day, is that most people can
9 calculate how much it cost to run a system per square foot
10 for ammonia.

11 But with a transcritical system, it's hard to
12 calculate and model that. And I know it's advanced much
13 since then or not like that. But we looked at it and took
14 that seriously into consideration. The other big thing
15 that we see is that there was some efficiency gained in
16 heating water and taking the gas and preheating water for
17 our process systems and our hot water plant.

18 You can go to that next slide there.

19 We actually, being a meat processing plant, we
20 have to have sanitary water throughout the plant and we
21 preheat all the water by taking all the hot gas from the
22 refrigeration system, the transcritical and preheating it
23 now. We've implemented after everything was done all these
24 heat exchangers in here so that we could do this. So, it
25 tries to save us money on that end as well.

1 So, there's been some challenges. I can't tell
2 you that it's been a hundred percent smooth sailing
3 compared to ammonia systems or cascade systems in general
4 here.

5 Being a plant of this size where there's five
6 racks and 13 compressors on each one, this is much more, I
7 guess ... it's a finicky system. And that's why I think
8 you'll see some of the challenges -- the previous presenter
9 said something pretty interesting about service techs and
10 heat pumps and CO2.

11 And I think we feel the same way here is that I
12 think one of the limiting factors that you'll see in
13 commercial industrial people adopting this is that most
14 people are going to quote you an ammonia system because
15 that's their history. That's where they have their
16 technical skill at.

17 And the technical skill here for service and
18 maintenance of a transcritical CO2 system like this, is
19 challenging. And we've had a couple people --- not people,
20 but companies coming to us to shop around and wanting to
21 say, "Hey, we want to take over your service" and we show
22 them what it is and some are "Okay, we could do that."

23 But we ask system for their specialty and they
24 couldn't really know how it works quite well enough. They
25 think it's like any other refrigerant system, but it's not.

1 So, that's where it gets a little, I think, challenging in
2 terms of California and in general, all production people
3 adopting this system.

4 Operation-wise, it has been operating pretty well
5 since it started up. We've had normal few issues with
6 valves sticking open, losing CO2 gas, and such like that.
7 But we built this system as a redundant system where each
8 rack powers coils in different rooms so that if anything
9 ever goes out, we always have a backup rack running and
10 keeping that cool.

11 In let's see ... February, almost two and a half
12 years has been operation, we've only had one rack go down
13 for a few hours because it lost some oil and the
14 compressors couldn't run because there was no oil in there.
15 But other than that, it has worked pretty well in terms of
16 the system.

17 Another headache that we've actually seen is that
18 we talked about CO2 being used as a refrigerant, but we
19 have to buy refrigeration grade CO2, which is medical grade
20 basically and pure CO2 like this. And normally, I don't
21 know if it'll be a problem at all, but with COVID and
22 everything last year and CO2 shortages throughout the US,
23 it was really hard at times for us to keep CO2 in stock.
24 We keep around 34 bottles of CO2 on stock to replenish
25 anything.

1 One surprise is that compared to ammonia system
2 leak -- when you have ammonia leak, there has to be
3 notification of everything here. We've had multiple little
4 leaks of CO2 where it's like a valve or pressure gets too
5 high, the safety valve blows off some CO2, and we've had to
6 replace a little bit more than what we thought there was.

7 And so, that's caused some issues there. So,
8 overall, I think technology is always advancing and we
9 thought that this transcritical CO2 is the kind of the wave
10 of future possibly in terms of refrigerants for a
11 commercial or processing facility.

12 There are hiccups. I mean we all know what the
13 regulations will be coming up. I know I saw something come
14 across my desk for a two-minute ... no, I got my note; two
15 minutes. I better finish up now -- about Title 24
16 regulations for it and how they play the play. I'm sure
17 there will be some more OSHA regulations looking at this in
18 a second.

19 So, it's a pretty interesting system and it's been
20 pretty well so far. So, I'm hoping that any questions you
21 guys might have or anything about adoption and how we kind
22 of went about the process more and how we feel the energy
23 uses is and such like this for the plant. So, thank you.

24 MR. CANTRELL: Thank you. Thanks so much for
25 sharing your experience with this system. We have a few

1 minutes for questions to be submitted on the Q&A section.
2 We've got a couple in that we can get routed to people. I
3 think the first one-

4 MS. RAITT: Samuel, do you want to first check to
5 see if the commissioners have some questions?

6 MR. CANTRELL: Sure, sure.

7 COMMISSIONER MCALLISTER: Okay, Sam, thanks a lot.
8 And thanks to all of you, all five of you for really great
9 presentations.

10 I'm not going to pretend to really be able to
11 formulate an intelligent question here because I think
12 there's a serious amount of knowledge already in the room
13 in sort of helping navigate what is doable in the policy
14 realm and what is state of the art and how we sort of guide
15 that I think will be an ongoing discussion across all the
16 agencies.

17 Helen, I really appreciate your expertise there
18 and Max and Ankur - Max, thanks for your academic treatment
19 and all the good research you're doing. And Ankur, Rheem
20 is such a leader. Yesterday on the Assembly panel on
21 building decarbonization, we had a colleague of yours from
22 ... who was it? It was Josh Greene from A.O. Smith.

23 And so, we're trying to include across the
24 industry voices in this so that we can really craft good
25 policy and work well across the agencies and with all the

1 stakeholders.

2 And then finally, Alex always appreciate NRDC and
3 Michael, that was inspirational, really. Thanks for taking
4 that leap of faith that you described. I see Commissioner
5 Rechtschaffen has his hand up, so go right ahead.

6 COMMISSIONER RECHTSCHAFFEN: I was very crushed
7 when Alex said that he had two favorite things and the
8 building decarbonization was the second one, and
9 refrigerant policy was the first one. And I do building
10 decarbonization, but not so much refrigerant policy
11 indirectly. I'm trying not to take that personally.

12 I did have a follow-up question for you. You had
13 mention in your slide, we need to focus on low-income
14 communities and communities of colors first. I just wonder
15 if you could provide elaboration about what kind of policy,
16 tools, ideas you have to implementing that objective.

17 And by the way, anybody else on the panel should
18 feel free to respond as well.

19 MR. HILLBRAND: Yeah. Thank you so much for the
20 question and I don't mean to offend with my love for
21 refrigerants here.

22 Yeah, I'm specifically referring to incentive
23 spending and looking at prioritizing those dollars in the
24 communities that I mentioned, for the reason that as
25 Michael has said, there can be significant incremental

1 costs to some of these technologies for a while. It's
2 important that that not be a barrier or rather that in
3 different types of communities, that can be dealt with
4 totally differently.

5 And we don't want that disparity to result in
6 saddling this old infrastructure with folks who are maybe
7 not as well able to afford it. And I think CARB's
8 regulations, which differentiate with smaller grocers for
9 this reason, because they tend to be in communities that
10 may have greater food desert kind of issues related.

11 I think that makes a lot of sense. SMUD with its
12 low GWP efficiency trial pilot program looked at
13 prioritizing certain communities for that. So, these are
14 the types of things that to me make a lot of sense and
15 that's true as well ... yeah, I'll stop there. Thanks.

16 MS. WALTER-TERRINONI: Maybe I could just add
17 that, that we kind of went through some past history around
18 incentives, and what we found is that point-of-sale
19 incentives are the most effective to drive energy
20 efficiency or any new type of equipment. So, somebody's
21 making a decision right there, then and there, if they get
22 a rebate immediately in hand, then they're more likely to
23 choose the option that you'd like for them to go with.

24 COMMISSIONER MCALLISTER: Can I ask a quick follow
25 on there if you don't mind, Commissioner? No, go ahead,

1 Ankur.

2 MR. WEI: Oh, I was just going to add to Cliff's
3 question that there's also on the demand side for cooling
4 in particular, energy efficiency measures, traditional
5 energy efficiency measures, but also passive measures that
6 there are opportunities at the point of changing your roof
7 or repainting your home, for example, for cooler surfaces,
8 cooler roofs or cooler walls, which really are very
9 minimal, incremental to no incremental cost.

10 So, just keeping that in mind, not widening the
11 scope too broadly, but just on the demand side to try to
12 reduce those demands and to reduce like the peak demands on
13 the hottest summer days. Those measures can also help.
14 And it also ties to what the benefit overall to the grid
15 can be, to the peak demand and speaks to equity as well in
16 really hot areas.

17 COMMISSIONER MCALLISTER: Thanks for that. I
18 wanted to piggyback on Commissioner Rechtschaffen's
19 question and maybe this is for Helen but others perhaps; so
20 you mentioned the point of sale. So, that point of sale is
21 often on burnout in particular with water heaters, but when
22 you don't have cooling or how water.

23 So, in terms of just making that happen on the
24 truck or just right there in a really quick turnaround,
25 quick decision kind of mode -- how large do you see that

1 problem actually being, and assuming it's significant, what
2 solutions would you recommend there?

3 MS. WALTER-TERRINONI: We've actually seen
4 incentives that the contractor can provide right on the
5 sites. And I think that's especially important in
6 emergency situations, especially for families and
7 businesses with limited means, that they're able to say
8 here's one choice and here's the other choice, and you get
9 \$500 off or back with this other choice.

10 So, I think that ... by the way, your energy bill is
11 going to be lower or whatever it is that that else could be
12 offered there. So, I think we've seen that in the past
13 where contractors have been able to do that and with very
14 good success with energy efficiency, afford more energy
15 efficient equipment.

16 COMMISSIONER MCALLISTER: So, you don't see a
17 resistance to having multiple equipment like on a truck or
18 in a warehouse nearby for that kind of situation? I mean,
19 it seems like the supply chain would need a little tweaking
20 to sort of ensure that that happens consistently.

21 MS. WALTER-TERRINONI: I mean, it's only a phone
22 call away. When the phone call is made initially, you kind
23 of have the conversation upfront, yes.

24 COMMISSIONER MCALLISTER: Yeah, okay.

25 MR. MAHESHWARI: If I can just add a comment

1 Commissioner, that seems to be one of the big challenges in
2 emergency scenario, if the supply chain does not have a
3 water heater and somebody wants a water heater replaced.

4 I think the incentive program has to take that
5 into account, especially in a retail supply chain and the
6 current incentive program may not necessarily be best
7 conducive to a retail environment. So, I strongly
8 recommend that there's some program work that will allow
9 the incentive program to be more favorable or conducive to
10 the retail program.

11 So, that a big box store, retail stores can floor
12 heat pump water heaters because that's where we see
13 majority of the consumers walking and that's where we see
14 foot traction happening.

15 MS. WALTER-TERRINONI: And Commissioner, maybe the
16 better answer to your question, a lot of times if somebody
17 comes out to diagnose a problem and then they will make a
18 second trip to bring new equipment. And so, that's kind of
19 where the conversations can take place. So, maybe that's
20 more helpful to understand how that works.

21 COMMISSIONER MCALLISTER: That seems like there'll
22 be a difference between an HVAC and a water heater. But
23 yeah, it's really helpful. I think this will be an ongoing
24 conversation. We need to figure out what the incentive
25 environment -- this is certainly relevant for the PUC's

1 programs and definitely for existing buildings generally.
2 And we've got to figure out where those pressure points
3 are.

4 And maybe there's a combination of retail and
5 upstream programs. But we should keep that conversation in
6 mind. So, thanks a lot for that, for those answers.

7 Commissioner Rechtschaffen, did you have another
8 question at all? Okay.

9 COMMISSIONER RECHTSCHAFFEN: I don't Commissioner
10 McAllister.

11 COMMISSIONER MCALLISTER: Great. Thank you very
12 much. And thank you for being here both in the morning and
13 afternoon. That's really tremendous ... I appreciate that.

14 So, we're pretty much right on time. So, Dorothy
15 Murimi from the Public Advisor's Office says we do not have
16 any public comment, but we do have a couple on the Zoom Q&A
17 that we can knock out here. So, Sam, you want to try to
18 moderate those two that we have on the Zoom Q&A.

19 MR. CANTRELL: I think they're essentially the
20 same question. And I think that they were intended for
21 Helen perhaps. It says: Will the CEC, CPUC, and ARB help
22 with the Building Codes that we can use A2Ls?

23 And the second question; was there something
24 needed legislatively to unblock the process of getting low
25 GWP refrigerants into the Building Code?

1 And if I could maybe reword that; is there
2 anything that can be done to help streamline that
3 bottleneck that you described in getting the A2Ls through
4 the UMC approval process where it's stalled out?

5 MS. WALTER-TERRINONI: I think the first question
6 is probably for the commissioners, and I can take the
7 second question and talk about maybe what's been done in
8 Texas.

9 So, forward-leaning, climate friendly Texas has
10 actually enacted legislation to require the allowance of
11 any refrigerants that is allowed to be used by EPA can be
12 used in Texas according to, in their Building Code.

13 So, forward-leaning Texas and Oregon have both
14 enacted legislation to that effect. So, whether or not
15 then it needs to be kind of a mechanism that's used in
16 California, I guess, we'll have to see, but I think we've
17 got some leaders with those climate friendly states.

18 COMMISSIONER RECHTSCHAFFEN: I don't know if
19 that's going to be a selling point to get it enacted in
20 California or not, Helen.

21 MS. WALTER-TERRINONI: No, I'm being a little bit
22 concerned ... I'm being a little bit sarcastic.

23 COMMISSIONER RECHTSCHAFFEN: So, I'm teasing but
24 that's very interesting.

25 MS. WALTER-TERRINONI: It sailed through without

1 an iota of opposition, and it was bipartisan all the way in
2 both states. But I think the first question is to you all
3 commissioners to see if ... I think that that's what he's
4 asking you, is whether or not there'll be some support from
5 you all.

6 COMMISSIONER MCALLISTER: So, I think that the
7 question - and Commissioner Rechtschaffen, with your deeper
8 experience than I have in state government, maybe you have
9 more insight on this. But I think the three agencies; CEC,
10 PUC, and ARB would certainly be supportive of this, but I
11 think the decisions have to be made elsewhere.

12 We would line up our relative authorities with
13 whatever pathway needed to take place. But we're not where
14 the bottleneck sits. So, we need to sort of utilize our
15 agency level "soft power" a little bit to move this along,
16 I think, and we should talk about how to do that. And to
17 the extent there are questions that actually need to be
18 answered, or at least to the satisfaction of those decision
19 makers, we need to just encourage that.

20 COMMISSIONER RECHTSCHAFFEN: I don't have anything
21 to add. I agree with you. That's exactly right.

22 COMMISSIONER MCALLISTER: Great. Okay. Well,
23 thank you for that endorsement. I appreciate that. That
24 means a lot to me.

25 So, let's see ... I think unless we still have no

1 public comment, I think we might be able to wrap up at this
2 point. I want to just ... yeah, go ahead, Heather.

3 MS. RAITT: Commissioner, I'm sorry, this is
4 Heather. Yeah, no more public comment on the Zoom, you're
5 right. But yeah, go ahead Dorothy. We do have a hand up
6 for public comment, excuse me.

7 COMMISSIONER MCALLISTER: Oh, we do, great, okay,
8 yeah.

9 MS. MURIMI: Thank you, Heather and thank you,
10 Commissioner McAllister. So, I'm just going to give
11 announcements just in case other attendees may not be
12 aware.

13 So, we are now in public comment session. One
14 person per organization may comment and comments are
15 limited to three minutes per speaker. If you're using
16 Zoom, you can use the raise hand feature. It looks like a
17 high five, and that'll let us know that you would like to
18 make a comment.

19 We'll call on you and open your line. Make sure
20 your end is unmuted. And then you may begin your comment.
21 So, I'll start with our first commenter.

22 I see Jennifer Lu from SoCalGas. You may unmute
23 on your end and give your comment. Give that one moment.
24 Jennifer Lu, can we unmute Jennifer Lu? There you go.

25 MS. LU: Hello? Hello, yes, my name is Jennifer

1 Lu, and I'm representing SoCalGas. Thank you to
2 commissioners McAllister, Gunda, and Rechtschaffen for
3 putting together today's important workshop.

4 SoCalGas has conducted two successful research
5 projects through the CEC natural gas research and
6 development program to demonstrate the use of gas heat
7 pumps in commercial and residential settings. One of the
8 demonstrations used an integrated single effect, absorption
9 natural gas heat pump system prototype in two full-service
10 restaurants.

11 Based on the current distribution of gas water
12 heating product types in California, a 10% market
13 penetration of the integrated gas heat pump system could
14 yield an annual natural gas savings of 13.6 million therms
15 and a reduction of 80,000 metric tons of CO2. This is
16 equivalent to offsetting the electricity usage of more than
17 13,000 homes for one year.

18 SoCalGas has implemented its aerial methane
19 mapping program that uses light detection and ranging
20 technology integrated to a helicopter that can identify
21 methane emissions as a plume of gas. This program allows
22 us to proactively detect potential leaks as well as
23 incomplete combustion that could be associated with gas-
24 fired equipment.

25 These detection technologies allow us to exceed

1 our compliance obligations and proactively identify leaks
2 on our distribution pipelines, providing opportunities for
3 energy efficiency upgrades by targeting customers with less
4 efficient appliances.

5 Aerial mapping data helps SoCalGas Advanced Meter
6 Infrastructure Team improve its algorithms to better
7 analyze and distinguish customer usage patterns. For
8 example, through enhanced analysis of customer usage
9 patterns, these programs have helped identify when
10 appliances are unintentionally left on or when hot water
11 leaks occur.

12 As a result, SoCalGas can proactively contact the
13 customer to prevent high bills and possibly unnoticed high
14 gas consumption, which can enable customers to improve
15 their operations or better maintain their equipment as
16 needed.

17 LIDAR technologies are not as effective at
18 capturing HFC leaks, so there isn't as much data on the
19 leakage rates of high global warming potential gases
20 associated with electric heat pumps, air conditioners, and
21 refrigerators.

22 To mitigate climate change impacts and reach
23 decarbonization goals, more research is needed to help
24 detect and manage any potential leaks from electric heat
25 pumps. We look forward to continuing to partner with the

1 CEC to invest in technologies that will help California
2 achieve clean air and climate goals, thank you.

3 MS. MURIMI: Thank you, Jennifer. Now, I'm going
4 to give one more opportunity-

5 COMMISSIONER MCALLISTER: Thank you very much.

6 MS. MURIMI: Now, I'm going to give more
7 opportunity for folks -- apologies, Commissioner
8 McAllister. I do see Michael Lau in the panelist section
9 has a comment, you may proceed.

10 MR. LAU: Yeah, it's interesting to hear about the
11 incentives. I just wanted to make a comment about that
12 from the industrial side, is that we look at it from two
13 parts; which is the initial investment and then the payback
14 time from operation.

15 Now, I'm not sure that any of the policies or
16 regulations deal too much with that there, and that we were
17 lucky in that we do have a food program investment or food
18 investment program grant, and that covers a lot of
19 transcritical CO2 systems.

20 But in terms of the end user, we're obviously a
21 large end-user, we're obviously a large end-user, and
22 there's nothing really available there that would
23 incentivize us to want to put in the transcritical. But we
24 did have what we thought was the right choice at the time,
25 but I think it would be a lot easier choice if there were

1 some type of rebate and incentive programs.

2 Because we see all the other ones for VFD motors,
3 installation pumps, and stuff like that. But there's not
4 much focused on the adoption of low gas, CO2 and stuff
5 into, I guess, in their more industrial spaces, including
6 grocery stores and such like that.

7 So, I just wanted to put that out there and see ...
8 I don't know what the Energy Commission thoughts are and
9 stuff like that, but that's where we are ... the cost is much
10 higher for a transcritical system than an ammonia system.
11 And if you want large adoption from a lot of different
12 producers and processors, because there's a lot of
13 processors, producers, cold storage in California because
14 we can't rely to ... so, it would be very helpful to have
15 those available out there to companies.

16 COMMISSIONER MCALLISTER: Thank you for that Mr.
17 Lau. So, I hear from Dorothy that that concludes public
18 comment. Thank you for that.

19 And apologies for my open mic her where I'm
20 coordinating with my kids. So, I think that that concludes
21 this afternoon's panel. I want to thank you Sam for
22 moderating ably and contributing content to that panel.
23 So, appreciate that.

24 And all five of our panelists really bang-up job.
25 There's a lot of substance to follow up on and to keep

1 working together on going forward. So, really happy about
2 this morning's panel on embodied carbon, which is sort of a
3 big, relatively new topic for the energy agencies. And
4 also, refrigerants, which I think has a lot of work already
5 done and underway in the state, but really does, as we've
6 heard need some attention at the sort of policy and
7 rulemaking levels.

8 So, plenty of items on our to-do list, all good
9 things and really appreciate everyone's input for helping
10 us navigate these waters.

11 Commissioner Rechtschaffen, did you want to make
12 any closing comments?

13 COMMISSIONER RECHTSCHAFFEN: No, thank you,
14 Commissioner McAllister. I'm very appreciative of the
15 wealth of information presented this morning and this
16 afternoon, and I'm happy to have participated in the
17 panels. I look forward to continue to collaborate with the
18 Energy Commission, the Air Resources Board and our public
19 and private stakeholders on these critically important
20 issues.

21 COMMISSIONER MCALLISTER: Thank you very much and
22 well-said. So, here is the information about how to submit
23 comments. They'll be due on September 9th. By September
24 9th, earlier is better obviously, but that's the docket
25 number.

1 And if you need help submitting, please get in
2 touch with the Public Advisor's Office, that's Dorothy
3 today, or RoseMary or Noemí, who's the Public Advisor
4 herself here at the Energy Commission.

5 I think we have another slide about all the
6 workshops that we have coming up. There we go. Thank you,
7 Heather.

8 So, there are the upcoming workshops in the IEPR,
9 both in the building decarbonization track as well as the
10 rest of the tracks. We have natural gas coming up,
11 renewable natural gas on September 10th, and on October
12 5th, we have building decarbonization workshops.

13 And so, encourage everyone to attend those.
14 Really lots of, lots of substance as the urgency to upgrade
15 and attack the problem of our existing buildings in
16 particular really gains traction and gets vision at the
17 highest levels and some backing at the highest levels.

18 So, I'm optimistic that we'll be able to make some
19 progress and that's the goal to lay the path for that this
20 year in the IEPR.

21 So, with that, Heather, I think we're done. If
22 you can add anything that I didn't-

23 MS. RAITT: Yeah, we are done. We had a good day,
24 thank you.

25 COMMISSIONER MCALLISTER: Okay, great. Okay.

1 Perfect. Well, thank you, everyone, I really appreciate
2 everyone's participation and attention in a long
3 substantive day. So, take good care. We are adjourned.

4 (The workshop concluded at 4:32 P.M)

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 25th day of October, 2021.



MARTHA L. NELSON, CERT**367

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 25th day of October, 2021.



Myra Severtson
Certified Transcriber
AAERT No. CET**D-852