

**DOCKETED**

<b>Docket Number:</b>	21-IEPR-05
<b>Project Title:</b>	Natural Gas Outlook and Assessments
<b>TN #:</b>	240858
<b>Document Title:</b>	Transcript on 8-31-21 on IEPR Commissioner Workshop - RNG Supply, Availability, and Price in California - Session 1 of 2
<b>Description:</b>	Transcript - IEPR COMMISSIONER WORKSHOP ON RENEWABLE NATURAL GAS Session 1 of 2 – RNG Supply, Availability, and Price in California
<b>Filer:</b>	Raquel Kravitz
<b>Organization:</b>	California Energy Commission
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	12/7/2021 8:34:59 AM
<b>Docketed Date:</b>	12/7/2021

STATE OF CALIFORNIA  
CALIFORNIA ENERGY COMMISSION

In the Matter of:	)	Docket No. 21-IEPR-05
	)	
	)	
2021 Integrated Energy Policy	)	
Report (2021 IEPR)	)	
	)	Re: Renewable Natural
	)	Gas
	)	
_____	)	

IEPR COMMISSIONER WORKSHOP ON RENEWABLE NATURAL GAS

REMOTE VIA ZOOM

TUESDAY, AUGUST 31, 2021

Session 1 of 2 - RNG Supply, Availability, and Price in  
California, 10:00 A.M.

Reported by: Elise Hicks

APPEARANCES

COMMISSIONERS PRESENT:

Commissioner J. Andrew McAllister, 2021 IEPR Lead, California Energy Commission (CEC)  
Commissioner Siva Gunda, CEC  
Commissioner Karen Douglas, CEC  
Commissioner Patty Monahan, CEC  
Commissioner Cliff Rechtschaffen, California Public Utilities Commission (CPUC)  
Commissioner Houck, CPUC

CEC STAFF PRESENT:

Heather Raitt, CEC

OVERVIEW ON WORKSHOP PURPOSE AND RENEWABLE GAS ISSUES

Melissa Jones, CEC

THE RNG MARKET IN CALIFORNIA

Stephan Barsun, Verdant Associates

RNG PERSPECTIVES

John Mathias, CEC  
Rizaldo Aldas, CEC  
Francois-Xavier Rongere, Pacific Gas and Electric (PG&E)  
Daryl Maas, Mass Energy  
Doug Bryant, Maas Energy

PUBLIC COMMENT

John White  
Julia Levin  
Michael Boccadoro  
Evan Edgar  
Brian Biering

## INDEX

	Page
1. Call to Order	4
2. Overview on Workshop Purpose and Renewable Gas Issues (Melissa Jones)	12
3. The RNG Market in California (Stephan Barsun)	16
4. RNG Perspectives (John Mathias, Rizaldo Aldas, Francois-Xavier Rongere, Daryl Mass, Doug Bryant)	42
7. Public Comment	90
8. Adjournment	104
Reporter's Certificate	105
Transcriber's Certificate	106

## P R O C E E D I N G S

1  
2 August 31, 2021

10:01 A.M.

3

4 MS. RAITT: All right. Well, good morning everybody.

5 Welcome to today's 2021 IEPR Commissioner Workshop on

6 Renewable Natural Gas. I'm Heather Raitt, the Program

7 Manager for the Integrated Energy Policy Report, which we

8 refer as the IEPR.

9 This workshop is being held remotely consistent with

10 Executive Order N-08-21 to continue to help California

11 respond to, recover from, and mitigate the impacts of the

12 COVID-19 pandemic.

13 The public can participate in the workshop consistent

14 with the direction in the Executive Order.

15 Today's workshop has a morning and an afternoon

16 session with separate logins for each. To follow along the

17 schedule and slide decks have been docketed and are posted on

18 the Energy Commission's website.

19 All IEPR workshops are recorded and the recording

20 will be linked to the CEC's website shortly following today

21 and a written transcript will be available in about a month.

22 Attendees have the opportunity to participate today

23 in a few different ways. For those joining through the

24 online Zoom platform, the Q&amp;A feature is available for you to

25 submit questions. You may also upload a question submitted

1 by someone else. To do so, click the thumbs up icon. And  
2 questions with the most uploads are moved to the top of the  
3 queue. We'll also reserve a few minutes near the end of the  
4 panel to take questions but will likely not have time to  
5 address all questions submitted.

6 Alternatively, attendees may submit comments during  
7 the public comment period at the end of the morning and the  
8 afternoon session or the afternoon session. Written comments  
9 are also welcome and instructions for doing so are in the  
10 workshop notice. Written comments are due on September 14.

11 With that, I turn it over to Commissioner Andrew  
12 McAllister who is the lead for the 2021 IEPR.

13 Thank you.

14 COMMISSIONER MCALLISTER: Great. Thank you, Heather.  
15 Welcome, everyone. Looks like we have good participation  
16 here. We're at 100 people which is terrific. And this is a  
17 little bit of a redux of or a complement to yesterday's  
18 forecasting workshop and also has some overlap with the  
19 previous workshop around hydrogen.

20 We're really trying to get all of these related  
21 issues kind of stressed out and the pieces lined up on the  
22 playing field in a way that makes sense. And so that's  
23 overall what we're trying to do here in the IEPR this year.  
24 And it's a very kind of vibrant and ever-changing landscape  
25 it seems and obviously driven to look for solutions by the

1 urgency of climate change and just the incredible shifts  
2 we're seeing in energy -- across the energy landscape and the  
3 climate landscape.

4           We're all thinking about all the communities around  
5 Lake Tahoe right now that are just under amazing -- under  
6 just incredible threat. Evacuation orders, lots of  
7 structures being burned down, and we can link that directly  
8 back to climate change. And so we really just have to figure  
9 out a way to decarbonize our economy, our energy systems, in  
10 particular our gas system.

11           And so renewable natural gas can be -- must play  
12 really in this -- in this game and it's got to be a part of  
13 the solution and, you know, along with all the other  
14 complementary topics, trying to figure out how much of a part  
15 of the solution. But for the gas system itself, you know,  
16 it -- as it relates to transportation and other sectors of  
17 the economy, industrial, etc.

18           So renewable natural gas is something that really  
19 warrants delving into. We have incredible staff on this. I  
20 want to just thank Heather and her team, Raquel and the whole  
21 team on the IEPR side who again are just organizing wonderful  
22 workshops that help us build the record in a positive  
23 direction. So thanks again for that Heather and team.

24           And then also we have the natural gas crew in the  
25 Assessments Division led by Melissa here, who'll you'll see

1 present in a little bit. Aleecia Gutierrez, the Deputy over  
2 the Assessments Division, and you'll see a number of staff  
3 throughout the course of the day. And Jennifer Campagna,  
4 ably moderating our Q&A sessions.

5 So I want to just thank again everyone for being  
6 here. I'm joined on the dais by Commissioner Karen Douglas.  
7 I think, Heather if I'm not mistaken, she's the only  
8 Commissioner with us at the moment? But certainly --

9 MS. RAITT: -- (Indiscernible) --

10 COMMISSIONER MCALLISTER: -- would invite -- invite  
11 Commissioner Douglas to --

12 MS. RAITT: Yes, it is (indiscernible.)

13 COMMISSIONER MCALLISTER: -- (indiscernible) --

14 MS. RAITT: Commissioner Gunda is also -- yeah.

15 COMMISSIONER MCALLISTER: Oh, I'm sorry. He's not  
16 appearing on my list. Okay. I'm sorry. Sorry about that,  
17 Commissioner Gunda.

18 COMMISSIONER GUNDA: (Indiscernible.)

19 COMMISSIONER MCALLISTER: I would pass it off first.  
20 Oh, there he is. Well, I'll pass it off first to you and  
21 then to Commissioner Douglas.

22 COMMISSIONER GUNDA: Absolutely. Thank you,  
23 Commissioner McAllister. I'm going to say it's a joy, as  
24 always, to be on the dais with you --

25 COMMISSIONER MCALLISTER: And you, likewise.

1           COMMISSIONER GUNDA: -- and Commissioner Douglas and  
2 for this important conversation.

3           I did want to just kind of set the context and then  
4 kind of expand on what Commissioner McAllister mentioned just  
5 in a couple items that are important to me as we go into this  
6 workshop. Before we jump into that again, I'll restart with  
7 a sense of gratitude to the incredible staff that we have at  
8 CEC that come in day in and day out and work on this  
9 important topic and to the betterment of the state, our  
10 nation, and more broadly the planet. So just incredibly  
11 grateful for our colleagues and staff across the Energy  
12 Commission and particularly on days like this where we have  
13 our IEPR workshops.

14           Special kudos to Heather and the IEPR team for, you  
15 know, the tireless work that they do in bringing these  
16 workshops and doing them in an extremely collaborative and  
17 meaningful way. So. And thoughtful ways. So thank you,  
18 Heather, and your team.

19           So I think in terms of the context, I just want to  
20 share a couple things. You know, in the CEC as we -- as  
21 we've been through workshop after workshop this year, we try  
22 to talk about this and reiterate this important point and I  
23 think it's meaningful today to talk about, which is that CEC  
24 has an extremely important role in helping facilitate robust  
25 data driven conversations and ideate on important policy

1 options in ensuring a kind of a safe, reliable, clean, and  
2 affordable energy system to serve all Californians.

3 I think this role is unique to CEC and the kind of  
4 the structure of CEC allows for this dialogue to happen in a  
5 collaborative fashion and brainstorming to happen in a  
6 collaborative fashion that other venues might not lend  
7 themselves to easily because of the regulatory regime and  
8 such that they have.

9 So I just want to kind of call that important --  
10 important in CEC's role in facilitating these conversations.

11 I think as we continue our transition towards this  
12 clean energy system, obviously there are two things that we  
13 are hyper focused on. And -- and thinking through the  
14 transition of the electricity system and the goals of SB100  
15 and all the work that, you know, we're doing as a Commission  
16 along with the sister agencies collaborative near the CARB,  
17 CPUC as well as CAISO.

18 I want to call attention to Commissioner Douglas's  
19 work on offshore wind infrastructure, land use, planning, and  
20 such, in really thinking through how do we transition out of  
21 electricity system to a clean system, both from a planning  
22 perspective, but also thinking through the constraints of  
23 that is.

24 I think the other side of the important piece here is  
25 the gas transition. We talked about the gas transition,

1 we -- we all watched a bunch of workshops this year. The  
2 3232 workshop, the building decarbonization workshop. It's  
3 an all the leadership that Commissioner McAllister has been,  
4 kind of, leading these topics on building decarb as a whole  
5 and -- and the importance of, you know, the transition of  
6 these different sectors.

7           So it becomes then important, how do we think about  
8 the gas transition in a meaningful way and how do we ensure  
9 that transition is again equitable as well as ensure its  
10 reliability and safety for all of Californians?

11           This workshop will give you the state of the RNG  
12 market in California, the status of RNG projects and research  
13 in California, and policies and incentives that affect RNG.  
14 I think this is an important conversation to build the record  
15 on this important stream of work.

16           As Commissioner McAllister mentioned from a gaseous  
17 fuel and energy carrier's perspective, we have at least two  
18 important critical elements to think through which is the RNG  
19 and hydrogen. And many others but these two become an  
20 important element to think through as we talk about gas  
21 transition.

22           There is a wide consensus established today by idea  
23 of research that significant reduction in carbon emissions is  
24 feasible in a large group of sectors across the economy. But  
25 that leaves some niche and some hard to decarbonize elements

1 through electrification which then, you know, require a  
2 necessitate other -- other fuel options.

3 So I'm looking forward to this conversation. It's  
4 important to set the stage. I'm thinking through the broader  
5 elements of how do we move towards more cleaner and a fuel --  
6 and a gaseous fuel options and energy carriers.

7 So with that, I'm thankful again to all the staff.  
8 Melissa, Jennifer, and then the entire gas team in the  
9 Assessments Division and the management team that I will pass  
10 the mic to Commissioner Douglas.

11 COMMISSIONER DOUGLAS: All right. Well thank you,  
12 Commissioner Gunda, Commissioner McAllister. I'll just keep  
13 my comments brief but I join in the appreciation of the work  
14 and the analysis that's gone into this and very much look  
15 forward to learning from this workshop and from the questions  
16 and comments that we hear from it.

17 So thanks.

18 COMMISSIONER GUNDA: Thank you, Commissioner Douglas.  
19 Heather, I'm just checking with you. Is Commissioner  
20 Rechtschaffen online ready?

21 MS. RAITT: Sorry, no, he's -- he's trying to join so  
22 he will be joining us shortly, I think.

23 COMMISSIONER GUNDA: Okay. With that, Heather, I'll  
24 pass it back to you to kick off the workshop.

25 MS. RAITT: Great. Thank you so much.

1           So first, we have a presentation from Melissa Jones  
2 who's the Senior Policy Analyst at the Energy Commission and  
3 is a frequent flyer with the IEPR workshop.

4           So thank you, Melissa. Go ahead and you should be  
5 able to start your video now.

6           Thanks, Melissa.

7           MS. JONES: Thanks. Good morning, I am Melissa  
8 Jones. I'm a Senior Energy Policy Specialist at the Energy  
9 Commission, a principal on electricity and natural gas  
10 issues. I welcome everyone to the workshop today.

11           I'm going to give a very short overview because I'm  
12 going to leave it to the experts to talk about renewable gas.

13           Next slide, please.

14           So the goal for this workshop -- there are two areas  
15 of focus that were identified in the scoping order that  
16 relate to gas, natural gas, renewable gas, alternatives to  
17 it. And the Warren Alquist Act does asks us to analyze all  
18 aspects of natural gas including forecasting and assessments,  
19 of demands to apply price infrastructure, market, and related  
20 topics. We're also intended to identify emerging issues and  
21 problems and identify solutions.

22           The IEPR does serve as the analytical foundation for  
23 policy development, and so we're -- we've done a series of  
24 workshops. Today we are focused on renewable gas. In the  
25 gas track, there's two items, the situational awareness of

1 emerging topics in natural gas system planning and refinement  
2 and development of critical analytical products necessary for  
3 gas planning. We talk a lot about those refinements and  
4 development of new products yesterday at our workshop.

5 Today we will be seeing presentations on RNG supply,  
6 availability, and price. We'll also see presentations on  
7 policy approaches for renewable gas.

8 Just to mention, we've already had three workshops  
9 related to gas issues or specifically on gas issues. We had  
10 a gas infrastructure workshop back in May. We had a workshop  
11 on gas electric interdependences in July. And then yesterday,  
12 our market and price forecast workshop.

13 We do anticipate at least two more workshops related  
14 to natural gas. One on long-term demand scenarios and then  
15 another one when the staff has its gas demands forecast and  
16 electricity forecasts available.

17 Next slide, please.

18 So RNG is methane, renewable gas is methane produced  
19 in a sustain -- sustainable or renewable way. It's a  
20 byproduct of other processes such as waste disposal. Sources  
21 are dairies, landfills, wastewater treatment plants,  
22 agricultural waste. There are end use opportunities for  
23 renewable gas and an electricity generation, space and water  
24 heating, transportation fuel, and also as an industrial fuel  
25 in feedstocks.

1           Most of California's RNG is being used in the  
2 transportation sector and that's largely due to the Low  
3 Carbon Fuel Standard which provides an incentive that's  
4 driving it into that market.

5           Next slide, please.

6           Let's talk just a minute about renewable gas and GHG  
7 admissions. This is 2019 methane admissions from ARB.  
8 Methane is a more potent climate forcing molecules than  
9 carbon dioxide which is why it's of concern. Methane  
10 admissions in agriculture including dairy and (indiscernible)  
11 fermentation and manure, nondairy livestock and rice  
12 cultivation account for about 80 percent of the total methane  
13 admissions in the state. You'll also see that pipelines  
14 account for about 12 percent.

15           Converting waste to RNG has important societal  
16 benefits of the pollution to waste disposal. We are looking  
17 at use in trucks and heavy-duty vehicles that have climate  
18 benefits compared to diesel which is what they're running on  
19 today and we're looking at the prospects to inject RNG into  
20 gas pipelines and we do recognize that there is leakage in  
21 the pipeline and so part of the ARB's short-lived climate  
22 pollution reduction strategy is to -- to develop renewable  
23 gas as a productive way of using it.

24           We've -- I would like to mention that California  
25 regulators have approved a new approach to methane leaks from

1 natural gas production requiring utilities to prioritize  
2 repairs on lines that leak, even if the lines don't pose a  
3 physical threat. This is to make sure that we capture and  
4 prevent leakage from the system and that pipeline leakage  
5 prevention is a key utility program.

6 Next slide, please.

7 And with that, I'm going to turn it over to the  
8 experts. So thank you for listening to me this morning.

9 COMMISSIONER GUNDA: Thank you, Melissa.

10 Before we jump into the experts, I wanted to  
11 recognize that Commissioner Rechtschaffen is with us now.  
12 And Commissioner Rechtschaffen, if you want to provide any  
13 comments before we go into the subsistent presentations.

14 COMMISSIONER RECHTSCHAFFEN: No, I thought that I was  
15 welcome at the Energy Commission workshop but I didn't get  
16 the special password to be on the dais this morning so I  
17 guess I've fallen out of favor since yesterday.

18 I'm delighted to be here. Thank you for holding this  
19 workshop. It's another example of our close collaboration.  
20 We of course have ongoing proceedings dealing with whether or  
21 not to establish a renewable gas procurement mandate and this  
22 is extremely relevant to that proceeding as well as the other  
23 work we're doing on biomethane at the PUC.

24 So I very much appreciate being able to participate  
25 and look forward to the discussion today.

1           COMMISSIONER GUNDA: Thank you so much, Commissioner.  
2 It's always a pleasure having you. And thank you for your  
3 continued leadership and would put on the policy fronts but  
4 also the statewide collaboration in moving these topics  
5 forward.

6           With that, I'll pass it back to Heather.

7           MS. RAITT: Great. Thank you, Commissioner.

8           So our first presentation is from Stephan Barsun who  
9 will give us an overview on the RNG market in California.  
10 Stephan is a founding partner of Verdant Associates where he  
11 leads the engineering and building decarbonization practice  
12 areas. He has over 20 years of experience in mechanical and  
13 energy engineering serving in design, analysis, and  
14 leadership roles. And prior to cofounding Verdant, he was a  
15 senior principal consultant in Itron's consulting and  
16 analysis practice. And so Stephan is a registered  
17 professional engineer.

18           So thank you for being here and go ahead.

19           MR. BARSUN: Thank you. So hopefully everyone can  
20 hear me. And as Heather mentioned or -- sorry one -- we'll  
21 be -- I'll be talking a little bit about the renewable gas  
22 market and natural gas market, some of the sources of that,  
23 some of the potential for those sources, and then finally  
24 close out with some estimate of cost.

25           Next slide, please.

1           So before I dive into this, a tiny bit more  
2 background on Verdant. Is as in the introduction, I was  
3 previously with Itron along with the rest of my cofounders.  
4 And, you know, during that time at Itron and then the  
5 transition from -- the consulting -- part of the consulting  
6 business, we were able to take some of those contracts with  
7 us. And one of those that we've been working on for some  
8 time is this -- evaluating the self-generation incentive  
9 program.

10           And the one -- where this becomes very relevant to  
11 the renewable natural gas market is that currently the  
12 generation part of the self-generation incentive program must  
13 be renewably fuel. And what that means is, you know,  
14 primarily a little bit of small wind and potentially a good  
15 deal of biogas or biomethane fueled generation.

16           So getting into some terms, you know, I'm mentioning  
17 biogas. So that's methane that's from a renewable source  
18 but, you know, might have some other components in it. It's  
19 not as clean. Biomethane is when that becomes more processed  
20 and then also renewable natural gas is when, you know,  
21 some -- some use that interchangeably with biomethane but  
22 that's when you've cleaned up, processed, and injected the  
23 gas into a pipeline.

24           And the sources of that I think were already  
25 mentioned the -- that's primarily animal waste, wastewater

1 treatment plants, landfills, and then potentially forest, you  
2 know, more and more forestry and crop race. And finally, you  
3 know, potentially it's from crops grown specially for this  
4 purpose. But in California, that's not qualified as  
5 renewables.

6 Next slide, please.

7 So I think a number of you were on the workshop  
8 yesterday and I don't want to go too far into the forecast  
9 for natural gas because they got it better covered yesterday.  
10 But this is just pulled from, you know, the source cited  
11 there. And the point I'm -- want to make about this is  
12 currently, outside of power tech plants, California is using  
13 a little bit over 12 million therms a year. This should say  
14 annual, I missed that on the slide.

15 The other thing that's cited is that the efforts in  
16 building decarbonization should really start to reduce that  
17 usage down into the bottom two blocks, the residential and  
18 commercial buildings. So the takeaway here is currently a  
19 little over 12 million therms. And that's our natural gas  
20 use that may be changing.

21 Next slide.

22 So how much renewable natural gas is available? And  
23 like many things with potential studies, this really depends  
24 on who you ask. So on the left where it says technical,  
25 those are what are called technical potentials. That's how

1 much gas could nat -- or renewable natural gas could  
2 potentially be supplied by different sources. And, you know,  
3 there's a broad range. And remember, you know, framing this  
4 with that over 12 million therms that are currently being  
5 used in California but, you know, I think electrification  
6 you'll probably be looking at least, you know, reducing half  
7 of that as if those efforts, you know, get to spanning the  
8 market.

9           And then additionally on the other side,  
10 transportation may consume a little bit more. But one of the  
11 takeaways from this is that you can see when you have those  
12 sources differentiated on both the technical -- on the  
13 technical side. Landfills can provide a significant hunk of  
14 that. Animal waste, another bit. And then the top two bars  
15 are when you're looking at municipal solid waste, all the  
16 comp -- you know, potential compost, lawn clippings, and food  
17 that we throw out. And then also agriculture and forest  
18 waste.

19           So a significant amount potential from those but how  
20 much of that we can realize, I guess, that's what we start to  
21 see on the right side of the graph. Because that's where  
22 based on some assumptions about basically the current market  
23 or incentives, what may actually be feasible and potentially  
24 cost effective. Again, the number -- the precise numbers  
25 here may not be super valuable but, you know, depending on

1 your potential -- your range, you could be looking at  
2 replacing almost half of our natural gas use or about one-  
3 tenth. And probably the more realistic figures are the ones  
4 on the right.

5 Next slide, please.

6 So walking through the process of how you get  
7 renewable natural gas or biogas. And this is when it's being  
8 processed through what's call a anaerobic digester. And what  
9 that is is basically you take the waste -- the animal waste  
10 or from a wastewater treatment plant, put it in a large  
11 container that it has a few certain parameters in it and make  
12 sure that the right bacteria is there to break that down. An  
13 anaerobic being basically without oxygen, so it's covered and  
14 sealed.

15 After that process, you're left with digested  
16 material which is the ones on the left that you can use for a  
17 variety of purposes. And you also have gas, and that gas is  
18 primarily methane. Then one of the keys is is that with  
19 wastewater treatment plants, most of that methane crop is  
20 required to be destroyed. So basically rather than releasing  
21 that methane into the atmosphere, it needs to be burned or  
22 destroyed in some manner. Simplest of that is what's called  
23 a flare. So without many of the wastewater treatment plants  
24 out there are already using a digester to basically help  
25 clean up some of their waste and then also going through that

1 flare process.

2           If you want to make better use of that methane, you  
3 need to remove -- you go through the -- remove some  
4 substances especially siloxanes which are formed by the  
5 decomposition of plastics or sulfur, both of which can cause  
6 a variety of not desirable effects when you try to burn those  
7 or use those in equipment. And then need to compress that  
8 gas and that's where you get to the biogas stage. So this is  
9 gas -- methane that can be used for fuel. It tends to have a  
10 lower heating content than renewable natural gas and that's  
11 not at the same pressure that natural gas is needed.

12           That biogas can be used on sites to produce heat  
13 either for, you know, heating a building or a lot of times  
14 for some process heat or to turn a generator, and that's what  
15 a number of sites are doing.

16           And then the final option would be you remove -- you  
17 basically upgrade that gas so that's removing some of that CO<sub>2</sub>  
18 so you have a higher heat content. Further compression and  
19 then it's -- that gas is virtually identical to natural gas  
20 and it can be injected into a pipeline.

21           One important note is that with farms and dairies,  
22 there's swine farms, that -- in the absence of a digester,  
23 what would be standard practice is those large farms would  
24 collect that waste and then just let it degrade, expose the  
25 atmosphere. That releases that methane directly into the

1 atmosphere, which I think was mentioned earlier, you have a  
2 significantly higher global warming potential than the  
3 releasing just a ton of CO<sub>2</sub> if you burned it.

4           So this is sort of the process for dairies and  
5 wastewater treatment plants. Let's talk about how many of  
6 those are out there and what they're being used for.

7           So next slide.

8           So some sources put dairy -- you know, the number of  
9 dairies with over 500 cows in California close to 1,000.  
10 That's the line the EPA has used as where it becomes  
11 potentially cost effective to install a digester. Others in  
12 industry think that number's a little bit higher and that may  
13 be more accurate given some higher costs in California.

14           So if you look at the bottom chart, the dark gray  
15 bars, the number of larger dairies in California. And then  
16 the next bar are those that are actually using biogas  
17 currently. And that can be for onsite generation, onsite  
18 fueling, or pipeline injection. And then that final much  
19 small bar is the approximate number of those -- they started  
20 injecting basically upgrading and injecting that renewable  
21 natural gas into the pipeline.

22           Something to note, and I think one of the other  
23 presenters will talk about it is that there are already over  
24 100 of these more in construction today. So those numbers  
25 are going to grow. But the few things I want to emphasize

1 here is that there's a lot more potential for these just by  
2 the numbers and also this is a very potent reduction point  
3 because if you're not using a digester at a large farm,  
4 chances are that methane would be vented directly to the  
5 atmosphere.

6 So next slide, please.

7 Another large potential source of RNG are wastewater  
8 treatment plants. One big difference between wastewater  
9 treatment plants and dairies is that in these cases most of  
10 these, not all, but many are already required to flare or  
11 again destroy that methane by burning it and producing CO<sub>2</sub> and  
12 water. Those with anaerobic digesters tend to be the larger  
13 wastewater treatment plants. Again, very similar to, you  
14 know, dichotomies of scale make a difference.

15 And if you look at the bottom chart, again, the first  
16 bar is approximate and these numbers are all approximate.  
17 Depending on your source, the numbers vary a little bit. So,  
18 you know, take, you know, the range is the more important  
19 thing to focus on.

20 So a little bit over 200 of these in California.  
21 Over 150 are already have an anaerobic digester. And then a  
22 smaller fraction, that 112 bar, the lighter green bar, are  
23 the numbers that are known to be using that biogas for onsite  
24 generation or pipeline injection. And then you get down, you  
25 know, much smaller percentage are using that, you know,

1 refining that biogas further to inject it into a natural gas  
2 pipeline. And again, these tend to be, you know, those with  
3 anaerobic digesters tend to be the larger facilities.

4           And then on the right you see, you know, the  
5 geographic dispersion which follows, you know, population.  
6 And those with green circle are those that are basically --  
7 that have an anaerobic digester. And those with the red  
8 circle are those that, you know, may not -- may be a smaller  
9 facility further from population centers and may not already  
10 have that anaerobic digester.

11           So there's an additional potential with those smaller  
12 sites. And then depending on state goals, those that already  
13 have that digester are producing biogas and then what we want  
14 to do with that I think is where a policy does definitely  
15 have some influence.

16           Another thing to note that will I think be talked  
17 about a little bit more this afternoon is one of the recent  
18 policies, I believe it's SB 1383, which is going to drive us  
19 to reduce our waste from food and other, you know, substances  
20 that decompose. Is this is -- these wastewater treatment  
21 plants, many of these have excess capacity and could, you  
22 know, basically make use of an existing anaerobic digester to  
23 help process that waste for uses renewable natural gas or  
24 onsite generation, whatever the most valuable use would be.

25           Next slide.

1           The other and I think, you know, the current larger  
2 source of renewable natural gas, you know, in the states and  
3 I think even throughout the nation are from landfills. And  
4 you can think of as a landfill as basically a very large  
5 anaerobic digester in that once that waste is covered, it's  
6 effectively sealed in place mostly away from air but it still  
7 breaks down and produces methane. The larger landfills  
8 already required to collect and destroy that methane to help  
9 reduce that -- that global warming potential. That's why,  
10 you know, the introductory slides, even though, you know,  
11 landfills tend to be larger, their slice of the methane and  
12 global warming contribution is the entire pie because they're  
13 already collecting and destroying -- the larger ones are  
14 already collecting and destroying this methane.

15           Once this methane is produced, it can be basically  
16 cleaned up enough. So you remove some water from it, do some  
17 filtering to remove the large components, then, you know,  
18 again, destroy it through a flaring process which is again  
19 just burning it. The larger ones, again, are already  
20 required to do that. So in absence of any incentives or  
21 changes, that's what the larger landfills are already  
22 required to do.

23           To make use of that, you know, either in generation  
24 or other uses, some additional processing is needed. So,  
25 again, you know, very similar to what we saw with the

1 anaerobic digesters is you need to purify that, remove  
2 additional water. And then with landfills, one of the big  
3 ones that needs to be removed are those siloxanes I mentioned  
4 previously. Those are, I believe, formed when plastic  
5 decomposes and can cause many undesirable impacts on either  
6 generation equipment or even burners and fouling flame  
7 centers, all kinds of undesirable things that you don't want  
8 a customer or gas company to deal with.

9           Once those and also any sulfur -- sulfides are  
10 removed, it can again decompress and then use onsite like  
11 discussed previously. And -- or alternatively to process it  
12 into renewable natural gas a very similar process with, you  
13 know, some additional removal steps to again refine that and  
14 compress it for use -- injection into a pipeline.

15           So next slide, please.

16           So again pulling some data from the EPA is, you know,  
17 how many landfills are out there? How much more renewable  
18 natural gas might we be able to get from those? So there  
19 are, you know -- and this neighborhood of 300 land --  
20 distinct landfills within California, of those for the EPA's  
21 guidelines, approximately 80 are good candidates for  
22 basically biomethane or renewable natural gas. And, you  
23 know, again the criteria on those are that those are slightly  
24 larger, you know, up to a million tons of waste in place as  
25 opposed to requirement line of 450,000 tons and are either

1 active or have not been closed for more than five years. I  
2 think the assumption being that if it's been closed that  
3 long, chances are it's going -- there are just a number of  
4 hurdles to get there from here.

5           So of those 80, almost 60 of those are making some  
6 use of that biogas. And that, again, is primarily going to  
7 be generation or, you know, there are a one -- or, you know,  
8 and there are many more throughout the nation that are using  
9 that to for either pipeline injection or for use in  
10 transportation fuel. And then the lowest potential slides or  
11 the sites tend to be closed, older, smaller sites.

12           But again the, you know, a large number of these  
13 candidate sites already collecting the biogas but not many  
14 are using it, you know, further refining it to be used as  
15 renewable natural gas.

16           Next slide.

17           And the last big category would be what we would call  
18 biomass. And this is largely from forest waste, agricultural  
19 waste, other components. To refine this, it's a different  
20 proc -- often a different process if not through an anaerobic  
21 digester but you still need to convert this waste into either  
22 a gas or some burnable fuel that you can use elsewhere.

23           And, you know, right now, again, this afternoon I  
24 think we'll talk about some of the incentives in programs  
25 such as that biomass feed-in tariff and then also SB 1440

1 which may be driving towards more pipeline injection. And I  
2 think we'll hear more about that today.

3 The current plants are, you know, very much in the  
4 northern part of the state where we have a lot of forests and  
5 then through the -- down through the Central Valley.

6 Next slide, please.

7 Oh, actually go back. I'm sorry.

8 The one thing to note is that these facilities may  
9 provide, you know, maybe one of their great potentials  
10 because we're not currently collecting much RNG from these  
11 facilities unless the increasingly urgent need to reduce fuel  
12 for forest fires. Potentially there's a significant --  
13 significant potential here and obviously that was not the  
14 best sentence.

15 Next slide, please.

16 So I've alluded to this but basically where we, you  
17 know, right now getting, not just by numbers but by volume.  
18 So if we use the low carbon fuel standard as its source, you  
19 know, that -- for renewable natural gas over the history of  
20 the program, the gross majority of that is from landfill gas,  
21 and then some small components from food waste and dairy  
22 digesters.

23 And if you go to the next slide.

24 All of that landfill gas again, using the LCFS as a  
25 proxy, by site that bar on the far left we see that, you

1 know, less than 10 percent of the landfill gas that we're  
2 getting right now for the transportation program is coming  
3 from in state, the majority is from out of state, similar  
4 trend for swine and dairy manure. And somewhat similar  
5 trends for wastewater.

6 As you saw previously, you know, a lot of the  
7 landfills and wastewater plants in California are already  
8 making use of that biogas so they're not providing that, you  
9 know, not -- a lot of them are providing to pipelines. And  
10 then the other subs -- the other ones -- you have a very  
11 small sample size so, you know, basically there's one.

12 But again, takeaways from these two slides is the  
13 majority of renewable natural gas available in California  
14 today is from landfills and most of that is coming from out  
15 of state.

16 If you go to the next slide, please.

17 Another part -- and part of the reason for that is  
18 how much does it cost or how much is expected to be produced?  
19 And, you know, what this shows is bars based on a report by  
20 the American Gas Foundation but the median -- the average of  
21 those prices shown but as mentioned it is -- those first two  
22 bars are landfills and wastewater treatment plants. For the  
23 most part, those facilities are one, already collecting the  
24 methane; and two, would otherwise be flaring that methane or  
25 destroying that methane if they weren't turning it into

1 biogas for their onsite use or injection into a pipeline.

2           As we move to the right where you see dairies and  
3 municipal solid waste, those tend to be a little bit more  
4 expensive and again that's because you have to either gather  
5 that waste -- in the case of the municipal solid waste or  
6 process it and create and build that dairy digester.

7           Next slide, please.

8           In addition to what it might cost to generate that  
9 RNG, the source is very important for what your impact on  
10 carbon is. So again, pulling from the LCFS program that  
11 calculates a carbon intensity to a what, you know. Well, you  
12 know, we don't have the wheel or cradle to grave lifecycle  
13 estimate of how much carbon that RNG embodies.

14           And one of the interesting ones is with manure or  
15 animal waste with, again, that vented baseline that -- that  
16 methane would otherwise be vented to the atmosphere, that has  
17 a very significant, negative carbon intensity. It's actually  
18 removing carbon from the environment. The others you --  
19 you're not removing the carbon from the environment because  
20 otherwise it would've been burned.

21           And let's go to the next slide.

22           So the -- that big, negative carbon intensity and the  
23 way that the LCFS prices things to remove carbon is that  
24 you're -- so this is, again, you know, the green bars on this  
25 are the costs based on production and then that gray bar is

1 approximately what somebody could expect to get with the LCFS  
2 and the federal RFS program.

3 As you see with dairies, there's a significant  
4 difference. You know, part of that may be that -- that  
5 statewide -- that nationwide estimate for dairies is low but  
6 there, you know, the major driver right now is that LCFS  
7 transportation program, because it's helping to reduce --  
8 it's based on that carbon intensity.

9 Both of these tend to be, you know, variable, they  
10 change, so the other option is that a producer could enter a  
11 long-term contract with a utility. So the -- a green tariff  
12 or carbon pricing where the utility purchases that green --  
13 that renewable natural gas and then sells that as a product  
14 to their customers. And, you know, one estimate places that  
15 at \$18 per MMBtu and it probably varies up from there.

16 The other two things to note are that this is just  
17 the commodity portion. So if you're comparing this to what  
18 a -- the commodity price of gas is, I think you're talking  
19 more like 3 to \$4 MMBtu or maybe five as opposed to when  
20 we're talking 20 or, you know, up to even \$100 MMBtu for  
21 renewable natural gas.

22 And then, last slide. Next slide, please.

23 So summing this up, you know, I've already mentioned  
24 a few times is that with dairies, you have a good number more  
25 of those in the state and, you know, using and collecting

1 that renewable natural gas has a great carbon potential -- a  
2 great carbon reduction potential. Wastewater plants and  
3 landfills already producing a significant amount of methane  
4 that's mostly being used onsite. As mentioned, with SB 1383,  
5 that may drive up the available renewable natural gas or  
6 biogas from those sources. And then again, biomass, there  
7 are only 60 or so known plants in California that are all  
8 being used for generation. There might be significant  
9 ability to add to that and this is where policies can really  
10 make a difference.

11 And that is it. And sorry, it was like a minute or  
12 two over. And questions?

13 COMMISSIONER GUNDA: Yeah. Thank you so much for  
14 that overview. I mean, I've always kind of struggled to get  
15 a comprehensive view of the biogas and what RNG in general  
16 and I really appreciated just learning from your deck.

17 MR. BARSUN: Thank you.

18 COMMISSIONER GUNDA: So that was extremely helpful.

19 There's a couple of places I just wanted to make sure  
20 I ask you some clarifying questions.

21 One on just the process. And I want to understand,  
22 you know, for example, if we go to your Slide Number 8 which  
23 is the landfill gas to biogas with RNG, I just want to  
24 understand this from a technical perspective. So once you  
25 have the landfill gas, you know, the secondary treatment to

1 biogas, kind of like my understanding is that could be used  
2 for electricity but then we have the advanced treatment where  
3 we're going to put it in the pipeline.

4 I just want to make sure that I -- that I'm crystal  
5 clear on both the biogas and the RNG stages for the secondary  
6 and advanced treatment, both can be equalized today in power  
7 generation?

8 MR. BARSUN: Correct. The biogas is more, you know,  
9 it's -- basically you can use that onsite to turn a generator  
10 to get to the point that you would be able to use that in a  
11 pipeline to be able to deliver it to a power plant. There  
12 are pipeline standards, in some cases, are a little bit more  
13 stringent than what a generator standard would be for  
14 different, you know, especially siloxanes and to a lesser  
15 degree, the sulfites.

16 COMMISSIONER GUNDA: Great. So the -- the second  
17 question just for you as you kind of mentioned earlier in  
18 your deck, that there's a wide range of kind of a forecast  
19 that is commencing right now for RNG and biogas.

20 MR. BARSUN: Uh-huh.

21 COMMISSIONER GUNDA: I mean, maybe there was a  
22 conversation that's more nuanced but at a high level, you  
23 know, as we think through the -- the policy making and then  
24 kind of future scenarios for decarbonization and such, what  
25 do you propose from your vantage point on the best way to

1 think about the availability of this are -- are just going to  
2 consider about ideas, scenarios, and then -- then think it  
3 through. Any insight of how to improve or have better  
4 estimates would be greatly appreciated.

5 MR. BARSUN: So -- so it's -- it's really, as I  
6 mentioned, the amount that you can get is going to be really  
7 dependent on what your incentives, policy, and market are  
8 going to be driven by. And, you know, not trying to  
9 completely evade the question but I think as I mentioned with  
10 dairies, right now the major driver on that is with that LCFS  
11 program. A lot of that is already, you know, there's a  
12 driver there. There are still some barriers to get that to  
13 go.

14 So I think, you know, with dairies, it's -- I think  
15 some of the studies out there are already like that, U.C.  
16 Davis study I mentioned already looks at, you know, some of  
17 the incentives for looking at LCFS and RFS incentives. So,  
18 you know, that, you know, going, you know, doing a little bit  
19 more potential, you know, secondary research is a step but  
20 the answer is going to be more highly nuanced with what your  
21 incentives are at.

22 And, you know, again, you know, it takes the dairy  
23 sector and then the biomass sector are the two that have -- I  
24 think there are already a few efforts in place to working at  
25 refining those but those are the places potentially add --

1 you know, look at better incentives if, you know, we want to  
2 be doing something other than using dairy biogas for  
3 transportation.

4 COMMISSIONER GUNDA: Thank you so much. I just want  
5 to see if any other Commissioners on the dais have a question  
6 at this point.

7 Yeah, go ahead, Commissioner Rechtschaffen, please.

8 COMMISSIONER RECHTSCHAFFEN: I just was hoping you  
9 could clarify something on your slide about wastewater  
10 treatment plants.

11 MR. BARSUN: Uh-huh.

12 COMMISSIONER RECHTSCHAFFEN: And you may have said  
13 this already and I didn't follow it. So, 154 have digesters  
14 and we -- we think most are the -- the use that they're  
15 making is generationally five are injecting into the  
16 pipelines. So what else would they be using --

17 MR. BARSUN: The primary --

18 COMMISSIONER RECHTSCHAFFEN: -- the biogas for?

19 MR BARSUN: Yes. So, sorry. The primary other use  
20 would be to just turn an onsite generator. So you -- instead  
21 of -- that saves you the step of getting it further processed  
22 and then injected to the pipeline. And I don't have this in  
23 front of me but there are, I think, a handful more they are  
24 using that for process heat, either onsite to help heat their  
25 own equipment to, you know, aid the digestion process. Or,

1 you know, if there's a facility nearby that needs basically  
2 water (indiscernible) heat. But again, I believe the  
3 majority and I can follow up with more exact numbers on this  
4 are using that for generation onsite.

5 COMMISSIONER RECHTSCHAFFEN: Their own electricity  
6 needs.

7 MR. BARSUN: Correct.

8 COMMISSIONER RECHTSCHAFFEN: Yeah. Okay. thank you.

9 COMMISSIONER DOUGLAS: (Indiscernible.)

10 COMMISSIONER GUNDA: (Indiscernible) Commissioner --  
11 Go ahead, Commissioner Douglas. I was just going  
12 to pass it to you.

13 COMMISSIONER DOUGLAS: Great. I mean, that was  
14 actually my question too. So I think you mostly answered it.  
15 But I'd love to get a little more detail on which landfills  
16 or how many landfills are doing onsite generation and what  
17 the additional potential, if any, might be for that.

18 MR. BARSUN: I have that. I don't have that in front  
19 of me right now.

20 COMMISSIONER DOUGLAS: Okay.

21 MR. BARSUN: But I can follow up with, you know, some  
22 additional data on that.

23 COMMISSIONER DOUGLAS: Great. Thank you.

24 COMMISSIONER GUNDA: Great. Commissioner McAllister,  
25 I don't know if you have any questions. I don't see any.

1 I want to recognize that we have Commissioner Houck  
2 joined from CPUC as well. Commissioner Houck, would you --  
3 do you have questions from your end?

4 COMMISSIONER HOUCK: No, I don't have any questions  
5 at this time, but thank you. And I'm happy to be here, so I  
6 look forward to the presentation.

7 COMMISSIONER GUNDA: Thank you, Commissioner --

8 COMMISSIONER MCALLISTER: (Indiscernible.)

9 COMMISSIONER GUNDA: -- McAllister, it looks like you  
10 have -- yes.

11 COMMISSIONER MCALLISTER: I just wanted to say thanks  
12 to both of our colleagues from the PUC for joining us. It  
13 was a really important conversation and the background info  
14 is super helpful. I'm -- I will say I did -- let me think --  
15 I'm probably not the only one but, you know, we do have a  
16 number of dairy digesters, biogas digesters that the CEC has  
17 funded through the EPIC program that, you know, do have  
18 options for where they send that biogas.

19 And I think even the ones that have PPA's that they  
20 sort of put in place early in the game are kind of seeing  
21 that the landscape has shifted and I think that as the  
22 speaker said the L -- the LCFS seems to be the sort of -- the  
23 center of gravity for much of the market.

24 And so, you know, what does that mean for the rest of  
25 the gas grid? You know, is this a plausible, you know,

1 fairly, you know, plausible source at fairly significant  
2 volume or -- or, you know, will it current kind of cost  
3 paucity of incentive to inject it into the broader gas grid  
4 (indiscernible).

5 So I think that's maybe a policy question that we  
6 need to talk about with ARB and others but maybe some insight  
7 on that question.

8 MR. BARSUN: Are you, you know, looking for my input  
9 or --

10 COMMISSIONER MCALLISTER: Yeah. I mean, I just --

11 MR. BARSUN: -- (indiscernible.)

12 COMMISSIONER MCALLISTER: -- maybe I'm inviting you  
13 to speculate but maybe just to (indiscernible.)

14 MR. BARSUN: (Indiscernible.) Need more coffee, I  
15 guess.

16 So I think the -- it's a -- I think there is more  
17 potential out there. I think as hopefully Daryl Maas, you  
18 know, will be able to join us later on, he's got, you know,  
19 very much the boots on the ground experience -- oh, great, he  
20 is here. He's very much more the -- the boots on the ground  
21 guy that, you know, has experience developing these.

22 I think, you know, from a -- the low hanging fruit is  
23 starting to be there but, you know, as I was showing in my  
24 presentation, there are still a lot more dairies out there.

25 I think the real question gets into -- and I think

1 there's already been some work on this, is how close are  
2 those to pipelines? And, you know, that drives, you know,  
3 basically if you're miles and miles away from pipelines  
4 trying to get an interconnection to, you know, pump that  
5 elsewhere is probably going to be cost prohibitive.

6 So I think that's where the incentives, you know, I  
7 think a lot of the potential may be with using that for  
8 generation because it's a lot easier to move an electron than  
9 it is to move, you know, thousands of therms or cubics --  
10 thousands or millions of cubic feet of natural gas.

11 COMMISSIONER GUNDA: Thank you, Stephan.

12 So I know we have a couple more minutes here and I --  
13 you know, there's a bunch of questions coming through. We  
14 don't have kind of a public Q&A right now at this point, but  
15 we'll take a few Q&A later moderated by Jennifer after the  
16 next panel. But given that we have a couple minutes,  
17 Stephan, I just want to ask one question that keeps coming in  
18 the chat.

19 Just at a high level, based on the numbers you  
20 provided, I think that there's a -- there's a kind of a  
21 commission that it's not on the natural cost effective  
22 compared to fossil gas. But to the extent that you can  
23 comment on what makes this competitive for the other  
24 attributes that we don't consider today that doesn't make  
25 this comparative however you want to frame that. I think it

1 might be helpful from some of the participants to hear.

2 MR. BARSUN: Great. Yeah. So it's like many things  
3 where it's renewable natural gas, you know, as we're looking  
4 at decarbonizing things, the answer can get very complicated  
5 and nuanced very quickly.

6 I think one of the, you know, things that we need to  
7 keep in mind is, you know, looking the, you know, how -- what  
8 price are we putting on carbon? Or, you know, carbon  
9 equivalency? Is, you know, as we, you know, showed is that,  
10 you know, especially with dairies, you know, taking carbon  
11 out of, you know, not taking the actual carbon but taking the  
12 carbon effectiveness of that very much out of the equation.

13 So, you know, and then even with the other sources,  
14 they're still significantly lower carbon intensities than  
15 natural gas.

16 So one thing to, you know, keep in mind is, you know,  
17 and -- is how we are valuing carbon, you know, has a  
18 significant impact on, you know, if you're trying to run a  
19 cost effectiveness, you know, they're going to get way into  
20 the technical lead, but if you're trying to run a cost  
21 effectiveness test, the major impact, you know, swing around  
22 that is, you know, how much are you pricing carbon? Are you  
23 pricing carbon at the point that, you know, how much it costs  
24 just to avoid the next more -- less expensive approach? Are  
25 you pricing it on, you know, how much it impacts society?

1           And that -- and then when you're comparing this to  
2 other efforts like building electrification or other things  
3 the, you know, again, the primary driver on that is how we  
4 are valuing that carbon, and then what's your, you know, your  
5 baseline?

6           So, but, I think, you know, when you're comparing  
7 this to again, you know, building electrification, you know,  
8 what your source is has, you know, pretty significant impact  
9 on what your carbon is and that again is what, you know --  
10 and that and then what you can price this to buy this  
11 commodity at.

12           COMMISSIONER GUNDA: Thank you so much. That's  
13 really helpful.

14           Commissioners on the dais, I want to just make  
15 another pass if any of you have any additional questions. We  
16 have a couple more minutes before -- okay. I don't see any.

17           So with that I'm going to pass it back to Heather.

18           Stephan, thank you so much for your presentation.

19           MR. BARSUN: Thank you.

20           COMMISSIONER GUNDA: Personally, for me, you know, I  
21 just loved learning about the broader context. Thank you.

22           MR. BARSUN: Welcome. Appreciate the time.

23           MS. RAITT: Okay. Thank you, Commissioner.

24           Thank you, Stephan, that was really helpful. So  
25 we'll move on to our first panel, RNG perspective. And John

1 Mathias is going to be moderating it and he's Electric  
2 Generation Specialist at the Energy Commission.

3 Go ahead, John. Thank you.

4 MR. MATHIAS: Thanks, Heather. Yes, I'm John Mathias  
5 with the natural gas unit in the Energy Assessments Division.

6 And we have a very interesting panel this morning.

7 First, we'll hear from Rizaldo Aldas from the Energy  
8 Commission's Research and Development Division. After  
9 Rizaldo, we'll hear from Francois Rongere who will discuss  
10 PG&E's work on RNG research and development and innovation.  
11 And after that, we'll hear from Daryl Maas, the CEO of Maas  
12 Energy.

13 All right. We'll hold questions and discussions till  
14 the conclusion of these three presentations.

15 So first up, Rizaldo Aldas is the program lead for  
16 the Renewable Energy and Advanced Research Generation  
17 Research and Development Program for the Energy Commission's  
18 Energy and Research Development Division.

19 Previously, he was a supervisor to two RNG programs  
20 in the Energy Research and Development Division and an Energy  
21 Specialist providing technical leadership on biomass energy  
22 and natural gas fuel advance distributed -- distribution  
23 generation systems.

24 So, I'm going to turn it over to Rizaldo.

25 MR. ALDAS: Hi, good morning. Thank you, John, I

1 hope you can hear me okay.

2           So as John mentioned, my name is Rizaldo Aldas, I am  
3 with the Energy Generation Research Office of the CEC. And  
4 today I will share some I would say lessons learned as well  
5 as the all of your considerations impact in future role of  
6 renewable natural gas. And all from the standpoint of R&D  
7 projects funded by the CEC under the EPIC and the natural gas  
8 program.

9           Next slide, please.

10           Great. So I will go over the first few slides.  
11 Great. Those are addressed extensively by Stephan in his  
12 presentation. But I will provide examples of actual biogas  
13 facilities funded by CEC and then will divert a little bit on  
14 the -- from the technical topic to look at some statewide  
15 scale and how RNG might play out in the future looking at the  
16 resources and some key takeaways from the E3 study. And then  
17 I will come back and introduce some of the lessons learned  
18 and considerations for some future work.

19           Next slide.

20           Okay. So this is not to divert from the definitions  
21 that have been presented in the past two presentations. But  
22 I will just point out that for a few sectors conventionally  
23 the word RNG could include renewable hydrogen also aside from  
24 biomethane and as in the case of the future study that I will  
25 cite later on where they refer to RNG from an umbrella term

1 meaning biomethane, synthetic natural gas and renewable  
2 hydrogen. But for purposes of our discussions today, I will  
3 refer to RNG as primarily biomethane which is a different  
4 form of biogas.

5           And I will also cite the recent AB 3163 which was  
6 signed by the Governor in September of last year that  
7 expanded the definition of biomethane. And first to note, of  
8 course, is their requirement that it has to meet certain  
9 standards for injection to the common carrier pipeline. And  
10 the definition also now includes not just biomethane from  
11 anaerobic decomposition that described earlier but also  
12 methane from noncombustion thermal conversation of process.  
13 And the bill also specifies some types of qualifying  
14 feedstock when separated from other waste.

15           Next slide.

16           Okay. So Stephan talked extensively about the  
17 process for converting waste or organic feedstock to  
18 renewable natural gas. And the only thing I will point out  
19 here is that there are other routes, it was alluded to also  
20 in the previous presentation either aside from the bio type  
21 of conversion that is the thermal type of conversion which is  
22 now qualified under the new bill, there are different  
23 feedstocks that can be used for conversions. Some are this  
24 are shown here for this process. I call this the most common  
25 process for renewable natural gas. That because of the --

1 they are more -- they're commercialized, there are common  
2 feedstock that are available now. I would call it pretty  
3 much every day organic waste.

4 And a few things to note, key steps include gas  
5 cleanup, gas upgrading, and to tie it with a question a while  
6 ago, there are options for using that biomethane either by  
7 electricity, onsite use, pipeline injection, or compressed --  
8 as compressed natural gas for transportation applications.

9 In the next slides, I will give you example of actual  
10 facilities for different feedstocks, one on the food waste  
11 and green waste, then wastewater, and then dairy manure  
12 facilities.

13 Next slide.

14 Okay. So on with our first example funded under the  
15 EPIC program. So this is a standalone or dedicated bioenergy  
16 facility for converting food waste and green waste collected  
17 from San Luis Obispo County. The facility constructed,  
18 designed, and operated by a company called HZIU Kompogas is  
19 using an enormity -- type of digester called the horizontal  
20 plug flow. And they are a big digester that process high  
21 solid feedstock so that essentially a dry feedstock if you  
22 think about or compare it with manure and wastewater, the  
23 facility is scaled to process organic waste from the county  
24 with the capacity of 36,500 tons per year. And converting  
25 that food waste and green waste to renewable electricity

1 which they sell to PG&E under a power purchase agreement.  
2 And then they also create a valuable  
3 co-product in the form of solid and liquid fertilizer.

4 Next slide.

5 Okay. So this is just to show you the picture of the  
6 completed facility. The cylindrical shape part you can see  
7 at the lower section is the plug-flow digester and the  
8 structure on left is where the new generator system is. This  
9 was one of the first facilities that benefited from the  
10 BioMAT program. I think they are actually second in terms of  
11 the contract execution but are now fully operational and  
12 selling electricity to PG&E.

13 And just to illustrate some of the milestone achieved  
14 during the end-of-year agreement term with the Energy  
15 Commission which ended late 2019, that they were able to  
16 fully demonstrate the system, generate electricity exporting  
17 over 2 million of renewable electricity and for using co-  
18 products like over 77,000 tons of solid fertilizer and over  
19 1.5 million gallons of liquid fertilizer.

20 Now there were obviously operational challenges and  
21 challenges even from the start during -- during design and  
22 construction. And we heard about adjusting there because the  
23 design come from outside of the U.S. And they have to do a  
24 lot of adjustment for California requirement. But some of  
25 the notable lessons learned are not related to the gas

1 quality but more on say the upstream of the digester. So  
2 their operation challenges will be getting a better quality  
3 of feedstock. They found out that they get a lot of  
4 contamination, meaning those that should have been separated  
5 from the green waste. There were at the time lower food  
6 waste percentages obviously affected the biogas yields of the  
7 facility. But overall, the system worked and they are  
8 continuing in the operation from that point on.

9 Next slide.

10 Now moving from the high solids organic waste that I  
11 showed you a while ago, we'll now look at an example of  
12 facility processing wastewater or also known as municipal  
13 sewage sludge into biogas energy. This project is funded  
14 under the natural gas R&D program. And I would say coming  
15 from a relatively small wastewater treatment plant called the  
16 Las Gallinas Sanitary District. This facility is located in  
17 San Rafael. They serve about 32,000 customers and manages  
18 average dry weather flow of about 2.2 million gallons a day.  
19 So for this particular project, they constructed or  
20 established a biogas energy recovery system to use 100  
21 percent of biogas produced by the existing digester. And  
22 that biogas is used to provide electricity, heat, and  
23 transportation fuel. So to do that, they installed a biogas  
24 cleanup skid. They changed their older internal combustion  
25 engine and changed that with microturbines.

1           And then they also installed CNG refueling station  
2 and replaced of their -- the diesel-fueled, the vehicles. So  
3 the picture on the lower left is showing you the portion of  
4 the gasoline digester and microturbines and the diagrams  
5 describing the simplified, the schematic of the new process  
6 that they have for the whole system starting from the  
7 digester gas to the cleanup processes and then the  
8 applications.

9           So they -- they have microturbines for electricity.  
10 They have boiler for producing hot water and for heating  
11 applications. Some of them will return to the digester to  
12 maintain the heat. And then some of the gas are compressed  
13 for, again, for fueling.

14           Next slide.

15           So, again, the project successfully demonstrated the  
16 benefits of recovering biogas or energy application. And at  
17 the time of the -- by the end of the project and they were  
18 able to conduct a 12-month operation and presented some of  
19 the benefits for doing that. For instance, some of the  
20 numbers shown here include the biogas production and  
21 (indiscernible).

22           For immediate, some of the -- the RNG production,  
23 volume of the conditioned gas, and amount of generated  
24 renewable electricity, generated by the facility's  
25 microturbine system. But there are also some lessons learned

1 that they kind of encountered during the process. Some of  
2 those are mentioned here.

3           They find it valuable to have a better or more  
4 accurate biogas study. These are the basis for the design  
5 and construction and future operation of the facility.  
6 Verifying quantity and quality of digester gas is important  
7 as that they use a -- an important equal parameter also in  
8 their operation. In their experience what they found is that  
9 the -- what they are actually getting at the beginning of the  
10 operation is kind of slightly different from the design and  
11 quality that are used in the study that they prepared for in  
12 the design and operation.

13           And then obviously learned a lot from having a good  
14 knowledge of the -- for the construction and equipment and  
15 the way of selecting those equipment. And overall given that  
16 they are a small wastewater treatment facility, I think that  
17 they demonstrated wider possibilities that larger scale  
18 facility mean those that are the handling significantly  
19 larger volume of waste water and producing greater amount of  
20 biogas in their facility. And as we seen in a previous  
21 presentation, there are now wastewater treatment facilities  
22 larger than Las Gallinas that actually have digester and  
23 using the gas for their onsite use of power generation or  
24 pipeline injection.

25           Next slide.

1           Okay. So my last example here is of existing  
2 facilities on processing dairy manure for biogas energy. I  
3 would say that one of our speakers Daryl from Maas Energy  
4 will be discussing more extensively this particular topic.  
5 And I will also mention that the R&D program have funded  
6 dairy digester projects in the past even prior to the EPIC  
7 program and one of those is the (indiscernible) dairy  
8 digester built by Daryl's company under the ARA program. But  
9 this particular example that I have today is from a, I'll say  
10 competing company called CalBio and this will be, I would  
11 say, one of the first dairy digester projects that were  
12 funded under the EPIC program and the CDFA's dairy digester  
13 program. And that also, in a way, helped and stimulated the  
14 deployment of a number of dairy digester facilities in the  
15 central valley.

16           And the project is focusing more on electricity  
17 generation being by the EPIC program. And the project is --  
18 all of them are using covered lagoon digesters and they are  
19 demonstrating three different strategies of biogas storage  
20 project. These are project -- this is a project that's  
21 producing and storing biogas for generating electricity and  
22 be able to respond at times, so for peak demand. The concept  
23 of hub-and-spoke was explored in one of the projects where  
24 one central hub dairy could serve nearby dairies to process  
25 and clean the biogas and use that for electricity generation.

1           And then the other strategy is improving the  
2 efficiency of the whole process by capturing the waste heat  
3 from power generation system and using that for the  
4 subsistence process, for instance, running an absorption  
5 chiller to process the milk.

6           Next slide.

7           This is just to share with you some of the estimated  
8 impacts of each of those digester projects over the 12-month  
9 operation. All of the three projects, digester projects I  
10 have here have a PPA with beginning and exporting renewable  
11 electricity with an estimate of about 7 to 8 million Kilowatt  
12 hour over 12 months. And the other numbers here include the  
13 reductions in CO<sub>2</sub>. We emphasize the value important of  
14 cleaning the gas. Like, for instance, reducing the amount of  
15 hydrogen sulfide to help prolong the equipment, the engine  
16 generator. And also cited some numbers in jobs and net  
17 income.

18           Some of the key lessons and development needs are  
19 already something that we got from team include, I would say,  
20 it's kind of a breakthrough model, there's the dairy  
21 bioenergy operation in that the dairy owners pretty much not  
22 involved in the business for operation of the bioenergy  
23 facilities. And to quote one of the operators, we seldom  
24 need -- we provide them the manure and, you know, they  
25 generate. So it's really a separate business.

1           There are technology improvements and we're able to  
2 show that it can result in increased biogas production. It  
3 has consequence on electricity generation. They have  
4 contract with the utility and there are needs to improve some  
5 of the components.

6           Next slide.

7           Okay. So just very quickly mention that upgrading is  
8 a critical component of the technology. And just want to  
9 mention that one of the companies that we funded, developed,  
10 a technology called Metal Organic Framework for upgrading  
11 biogas into solid state. Scrubbing technology, they had some  
12 success in demonstrating that and what they're finding from  
13 there, they are actually looking at expanding, bringing it  
14 closer to the market.

15          Next slide.

16          So I just want to mention here that we are also  
17 exploring the potentials of woody biomass to RNG and these  
18 are outside projects that are halfway through so don't have  
19 results yet. But I'm including it here because of  
20 significant potentials when you think about the volume of  
21 woody biomass that are available out there, and potentials  
22 for converting to RNG.

23          And then next slide, please.

24          This is just divert a little bit from technology  
25 discussion and to mention that there are different estimates

1 out there in terms of their resources and the previous --  
2 speaker also talked about it extensively. I just want to  
3 mention that their estimates on the model we can have for the  
4 entire state. And the table that I included here is from a  
5 study funded under the EPIC program -- or funded through the  
6 environmental program and it shows a different estimate that  
7 we have in the future 2040 and 2050. And then -- and then  
8 just looking at some of the resources we can expect in the  
9 future we can convert for other applications. I would note  
10 that not all of these can be converted and there are other  
11 competing uses for the resources.

12           And in the next slide I'll just kind of put a little  
13 more focus on that particular study funded by -- under the  
14 Environmental Research Program.

15           Next slide, please.

16           That study evaluated the potential costs and energy  
17 per sector near quality, and focus on options. This is well  
18 presented in the public with a lot of input. And my  
19 intention really here is just to note that there are  
20 reconsiderations when you look at future work in developing  
21 R&D technologies in the farm facilities. And some of the key  
22 aspects that are noted here in terms of the E3. Use natural  
23 gas. There are probably some model renewable natural gas  
24 needed to meet the climate goals. There is a limitation in  
25 terms of the biomethane at recommended to be allocated to

1 hard to electrify facilities and applications.

2 And with that, I'll just conclude in the next slide  
3 to go back to some of the lessons learned that I mentioned  
4 that overall there is still challenges going all the way from  
5 the feedstock management, feedstock handling, improving the  
6 components from cleanup and upgrading technologies. There's  
7 an opportunity for managing co-products, improving  
8 technologies, such as solids separations. And there are cost  
9 efficiency programs for downstream equipment.

10 And also noted from the other considerations, most of  
11 these are nontechnical when we talk about capital cost,  
12 (indiscernible) and in consideration of really high  
13 availability and low cost of fossil natural gas that its  
14 competing with. And then there are gas requirements for  
15 pipeline and onsite use quality.

16 With that, I'll conclude. And thank you.

17 MR. MATHIAS: Thanks very much, Rizaldo, a lot of  
18 interesting information.

19 So our next -- next speaker will be Francois Rongere  
20 from PG&E. Francois leads R&D and Innovation for PG&E gas  
21 operations including research efforts towards zero carbon.  
22 His team is responsible for the detection, assessment, and  
23 introduction of new technologies and all aspects of the  
24 business.

25 Prior to this assignment, he worked in various

1 capacities for PG&E energy efficiency department,  
2 successively in charge of emerging technologies, customer  
3 services, and product development. Before joining PG&E in  
4 2006, Francois worked for the R&D division of a French  
5 utility where he developed new technologies and solutions for  
6 electricity for generation and customer applications.

7 He's also a lecturer at San Jose State University  
8 where he teaches engineering classes about renewable energy  
9 and biofuel.

10 Francois.

11 MR. RONGERE: Thank you very much, John.

12 Good morning, everyone. Can you hear me well?

13 MR. MATHIAS: Yes.

14 UNKNOWN SPEAKER: Yes.

15 MR. RONGERE: Okay. Perfect. I thought I was on  
16 mute. Perfect.

17 So. Next slide, please.

18 First, a few words about PG&E for people who don't  
19 know our company. So we are a gas and electric utility for  
20 the northern California. Here is a short map, a small map  
21 showing our territory. For the gas system, we've been about  
22 6,000 miles of transmission and 43,000 miles of gas  
23 distribution -- the gas distribution. So it's a large gas  
24 system and serving about 4.6 customers for throughput of a  
25 little bit less than 900 BCF.

1           900 BCF is about nine million terms, to use Stephan's  
2 units. So it's difficult in the U.S. to -- manipulate a  
3 different unit. So for you to understand that's the slide of  
4 what we talk about.

5           So next slide, please.

6           So this slide is just to show you the current  
7 projects to be connected to our systems. From my knowledge,  
8 I don't think that we are any injection of biomethane in our  
9 pipelines so far. So they are -- these projects are coming  
10 and we'd be the first injection of biomethane and we are very  
11 excited to have this coming. Without being a little bit  
12 delayed, that's all because of Covid and other issues. But  
13 we are almost there. And you see that the first project  
14 would be connected in Q4 this year. It's dairy projects,  
15 wastewater treatment, and also landfill. So there's a range  
16 of sources that Stephan has mentioned at the beginning.  
17 Again, the units are, always a little bit different. So here  
18 we talk about thousands of cubic foot per day. The "N" is  
19 actually thousand. I'm European, don't ask me why we put an  
20 "N" when we should put a "K." But, so it's 3 million cubic  
21 foot per day for the first dairy. And just so for you to get  
22 a sense, a cow always about 30 -- 30 cubic foot per day. So  
23 the first project is about 100,000 cows. It's not to just  
24 one dairy, it's actually a clusters of dairies. And it could  
25 be done in different point of injections. Our vision of

1 projects are company coming to us with a plan for injecting  
2 biomethane in a pipeline, but it could be in several points.

3           So they are fairly large projects, what I would say  
4 here, and the total is about 35 million cubic feet per day  
5 which represents -- so it depends because that's the maximum.  
6 That's -- the plate number but of course there's a capacity  
7 factor if you want that price. Electricity and the  
8 production is not under the maximum over the year so we take  
9 in this number, we present about 12 BCF of biomethane per --  
10 per year. If we take a capacity factor of 50 percent, that's  
11 about 5 BCF per year of production. So that give you a sense  
12 of the size of it.

13           To refer what Melissa mentioned at the beginning, the  
14 emission of methane in California is about 80 billion cubic  
15 foot. So here we are talking about six -- 6 cubic billion  
16 cubic foot compared to this 80 billion cubic foot knowing  
17 that SB 1383 has a goal of a reduction of 40 percent by 2030.  
18 So that would give us a goal of about 30, 35 billion cubic  
19 foot of biomethane to inject in our pipeline. So we are here  
20 at six, a good start more will come in the future.

21           So as the utility what we want to do is to facilitate  
22 the interconnection. And one of the aspect is  
23 interconnection cost and reducing interconnection cost. One  
24 of the things we -- my team, as in R&D, is working on is  
25 reduction of the cost of interconnection points by

1 (indiscernible) of it and using the best technology to  
2 measure what we need to measure, you know, that you optimize  
3 the cost of this interconnection. But still only one aspect  
4 that we are focusing on now.

5 Another aspect is gas study measurements. Again,  
6 finding the best measurement technique at the best price.  
7 You know, that to measure what we need to measure but  
8 reducing the cost as much as we can.

9 Another aspect of biomethane injection is as we  
10 mentioned before, I think Rizaldo you mentioned it briefly,  
11 that one of the challenges is injection and the connection to  
12 the large pipeline system. Often the production is close to  
13 distribution system but the consumption for the distribution  
14 system is not large enough to absorb all the time the  
15 production by the biomethane user. And, by the way, we have  
16 a limitation of that -- on that. One aspect we are looking  
17 at is to our ability to actually bring this gas back to the  
18 transmission system. I will show an example on my next  
19 slide.

20 Before I go to the next slide, I just wanted to  
21 mention the link I put on this one. It's our R&D roadmap for  
22 RNG and hydrogen at PG&E. It's our view of what we need to  
23 accomplish in the next few years. And I encourage you to  
24 check about it and we are more than happy to discuss about  
25 what we are trying to accomplish in corroboration with many

1 other players across the U.S. and international.

2 So next slide, please.

3 So this slide wanted to be an animation on  
4 PowerPoint. So throughout I want to you to stay with me with  
5 the story here. So on this slide, you see the green lines  
6 are the distribution system limited to 60 psi and the blue  
7 lines are part of the transmission system that feed the  
8 distribution system. In a traditional way, the utilities  
9 operating, the gas flows from the transmission large, very  
10 large pipeline of transmission at typically 900 psi to what  
11 we call here the local transmission pipeline that are perhaps  
12 250, 300 psi. And then down to the distribution system at 60  
13 psi.

14 And here just as a description of that is if we have  
15 a biomethane injection project as -- so lower right corner of  
16 my slide you see that we need, theoretically, to install  
17 transmission pipeline from that point to the closest blue  
18 line extremity in order to be able to transport the  
19 biomethane into transmission system because the distribution  
20 system at that location doesn't have the capacity to absorb  
21 pools of biomethane, especially in the summer. Such a  
22 transmission pipeline here perhaps 3 (indiscernible).

23 And so what we tried to do in order to reduce the  
24 cost of interconnection is to do -- replace the transmission  
25 pipeline by actually back compressing or reverse compressing

1 the gas back from the distribution system to -- into the  
2 transmission system. And that's what the compressor here  
3 shows. So my slide -- well, is a little bit confusing - the  
4 orange line is the transmission pipeline that we would build,  
5 that's one option. But the only option is to build a  
6 compressor but not building a transmission pipeline.

7 We continue to use the distribution pipeline to  
8 transfer the gas but in order to absorb the quality when we  
9 need to absorb it especially in the summer, we would transfer  
10 the gas back to the transmission system. So that's one of  
11 the solutions we are developing in order to help the  
12 injection of biomethane in our system.

13 Next slide, please.

14 Looking forward for a longer term and I wanted to  
15 show just a longer term vision of that is how we can actually  
16 improve the injection of methane by increasing the quality of  
17 methane we can -- we are, this is available to be injected in  
18 our pipeline. During the process of upgrading, talk a little  
19 bit about it, we go from biogas to biomethane. Biogas is  
20 typically 40 percent CO<sub>2</sub>, so 50, 40, 50 percent CO<sub>2</sub> and 50, 60  
21 percent of methane. So we have to separate the CO<sub>2</sub> from the  
22 methane. And the CO<sub>2</sub> is generally released in the atmosphere.  
23 What we purpose to do here, what we are exploring here is the  
24 opportunity to have actually this CO<sub>2</sub> which is fairly  
25 concentrated because it has been separated from biogas and

1 can be merged with here water and electricity, sort of  
2 electrolysis, in order to generate methane and oxygen that  
3 could be released.

4           We are working with two organization today. One is  
5 Opus 12 which is a startup company in Berkeley that use a  
6 chemical process, so it electrolyzes to breaks the molecule  
7 off CO<sub>2</sub> and merge them with a proton from water and generate  
8 methane or several protons of water to generate methane. And  
9 the other option is a biochemical pathway that is developed  
10 by the team of Professor Alfred Spormann at Stanford. And  
11 the idea is the same, just replace the catalyst which is the  
12 key for Opus 12 by bugs -- bacteria to do the same routine  
13 and produce methane.

14           You are perhaps aware of a company named Electrokia  
15 (phonetic) that has worked with our colleagues from SoCal Gas  
16 and DOE in the past to develop a process that takes the same  
17 thing to CO<sub>2</sub> but hydrogen and produce methane. Here we try to  
18 accelerate this process by directly doing the electrolysis on  
19 the CO<sub>2</sub> and producing methane without -- to produce hydrogen  
20 into meal. But this potentially can increase the production  
21 of biomethane from anaerobic digestion by rules factor of  
22 two. So a way to increase the throughput of biomethane but  
23 also to avoid to release CO<sub>2</sub> in the atmosphere where we can  
24 actually use it for methane and for energy.

25           So that's one of the more exploratory project that we

1 have, you know, in order to help in improving and optimizing  
2 the injection of biomethane in our pipeline.

3 Next slide, please.

4 We talk about an anaerobic digestion and or so  
5 Rizaldo and Stephan mentions that there is also another  
6 pathway which is thermal chemical pathway for woody biomass.  
7 The (indiscernible) is not very easy to digest by bacteria so  
8 it's difficult to use anaerobic digester for wood residues in  
9 general. Even if we are also looking at a co-digester so  
10 where we can put some woody biomass with other waste in the  
11 process of biogas production in order to increase the volume  
12 of biomethane which is -- oh, I see I'm at the end of my  
13 time. So sorry. And here just -- oops, yeah. Here is just  
14 a quick description of it. And I just wanted to mention a  
15 study we have done with SoCal Gas and SMUD, and also  
16 (indiscernible) as well a few years ago in 2019 or '18. And  
17 you see the report on the right and give us a sense of how we  
18 can actually repurpose electricity generation from biomass to  
19 the production of RNG and here are some numbers of the -- the  
20 cost, for example, here is 13 to 15 dollar per MMBtu which is  
21 to be compared to what Stephan providing which was about 23  
22 so the same range as to what was proposed before.

23 Thank you very much for your time. I think I've gone  
24 over by five minutes so my apologies for that and I'm happy  
25 to take any questions.

1 MR. MATHIAS: Thank you, Francois. I think we're  
2 going to hold questions to after the next talk. That was  
3 very interesting information.

4 So the next -- next speaker is Daryl Maas. Daryl  
5 Maas is the CEO of Maas Energy. After finishing up a career  
6 in the U.S. Air Force in 2007, he returned to his hometown in  
7 a dairy community in northwest Washington where he learned  
8 that many of his friends in dairy families were interested in  
9 deploying digester technology to capture energy from animal  
10 waste. He developed his -- developed and commissioned his  
11 first biogas facility in 2009. And since then, his company  
12 has grown to be a leading developer, owner, and operator of  
13 dairy digesters in North America with over 40 completed  
14 projects serving over 50 dairies. And the company is  
15 currently active in over a dozen states.

16 So I'll turn it over to Daryl.

17 MR. MAAS: Wonderful. Thank you very much, John, and  
18 everyone else.

19 I've been asked to -- the previous presenters have  
20 told you a lot about RNG, the market, the regulations, and so  
21 I'm going to scale down a little bit and talk more directly  
22 just about dairy digesters themselves. Try to finish up with  
23 some time remaining and I know there's a lot of folks with  
24 questions. So thanks very much and let's go to the next  
25 slide.

1           So our company was founded in 2010. Came from  
2 Washington on that date and realized that California had a  
3 lot of opportunities for dairy biogas. First of all, we have  
4 the most cows of any state. And second of all, we have the  
5 most progressive energy policies that are trying to target  
6 decarbonization renewable power. And so we began building in  
7 the Central Valley.

8           This map shows -- it's a little bit out of date --  
9 but this map shows our projects which essentially are between  
10 Bakersfield and Sacramento with some retrofits we also did  
11 out in Marin County as well. This has become pretty big.  
12 We're one of several companies in California, there's another  
13 one about the same size of ours and then there's many more  
14 entering. So the industry is certainly growing to try to  
15 accommodate those.

16           I'll talk a little bit more in the future about the  
17 locations of those projects. But as you can see, we are  
18 placed in the Central Valley primarily.

19           Let's go to the next slide.

20           Just a couple of more statistics. As I said, about  
21 30 to 40 digesters in operations, depending on which state  
22 and which region. Our company's actually grown to be over 80  
23 employees, thanks in large part to a lot of the support that  
24 California has provided for digesters that us and others are  
25 really scaling up. Just those digesters you saw it the

1 previous screen, those are funded by some of the Low Carbon  
2 Fuels Production Program from the Energy Commission, the  
3 Alternative and Renewable Fuels Program from the Energy  
4 Commission, the PUC's pilot project program. All of those  
5 are programs that have really enabled us to scale up where as  
6 a company we've gone from building one or two digesters a  
7 year to more like 15 a year at our current rate. And that's  
8 responding to a market demand. I think we're operating five  
9 biomethane injection facilities right now, each one of those  
10 serving multiple dairies.

11 As you can see across the top, and it is important to  
12 our market, is that we and many others like us are active in  
13 other states where there's an effort to produce RNG and bring  
14 the gas back to California because that is where the highest  
15 demand is for carbon negative gas. And as some of the other  
16 presenters have described, dairy digester gas is highly  
17 carbon negative and runs about a negative 300 CI score on the  
18 average and so that gas makes its way into the California  
19 vehicle transportation fuels market.

20 Next slide.

21 So just on a very basic terms, dairy farmers already  
22 use cow manure, this is not a new thing. Dairy farmers know  
23 that there is value in cow manure. As you can see kind of on  
24 our little org flowchart there, crops make food for the cows  
25 to eat, and cows make milk, that's the cash product for dairy

1 farmers. Cows also make manure which is stored in lagoons.  
2 It has to be stored there because manure is a pollutant if it  
3 is spread on the fields at the wrong time of year. So you  
4 keep it in the fields, and while it -- you keep it in the  
5 lagoon. And while it sits in the lagoon, it naturally breaks  
6 down and creates methane gas. But the farmer is using that  
7 manure in the lagoon to spread on its fields. That creates a  
8 certain amount of odor and other air pollutants, but it  
9 provides an organic fertilizer for the fields which makes the  
10 crops grow which feeds the cows. And so a modern dairy farm  
11 is already a pretty self-sustaining nutrient loop, you would  
12 say. It's good for the soil, it's good for the production  
13 locally of crops, but it has these negative byproducts.

14           So what a digester project really is doing is it's  
15 just inserting itself in the existing closed loop system at  
16 the dairy farm which is shown on the next slide.

17           So all we're really doing here is we are inserting a  
18 digester between the cows and the manure storage. So whereas  
19 that manure -- manure storage used to be uncontained manure  
20 that's breaking down in the natural environment, now we first  
21 put that manure in the digester, then it goes to lagoon,  
22 fields, crops, cows in a circle. When we do that, we create  
23 two benefits. One is the gas itself, and one is the  
24 reduction in methane emissions which has already been  
25 referred to.

1 Next slide.

2 This is a pretty simple, relatively small dairy farm.  
3 And small is important because as some other presenters  
4 mentioned earlier, the low hanging fruit is being gobbled up  
5 in the early phases of development in California and the real  
6 growth is in the medium size and smaller dairies. We have  
7 hundreds of dairy farms in California, around 1,000, and most  
8 of them are not targets for dairy digester developers because  
9 they're not large. But this one, for example, is about 1100  
10 cows, that would make it a medium sized dairy. And this one  
11 works because of some incentives offered by SMUD and CEC  
12 which funded this one maybe 12 years ago now, it's a pretty  
13 old facility in Sacramento County. But that's a small dairy,  
14 collect the manure in the back, and we put the manure under  
15 this covered lagoon digester. You can see the gas gets  
16 captured. And in this case, the gas is used to make  
17 electricity. In fact, my first 10 or 12 digesters in  
18 California, say between the years of 2010 and '15, were all  
19 power generation digesters that were responding to the  
20 incentives as they existed at the time. They were selling  
21 under net metering, or feed-in tariffs, or eventually the  
22 biogas which were all good programs in their day. But they  
23 were fairly limited in the number of digesters we could  
24 develop because the economics required pretty unique  
25 situations where there was public funding or very large

1 dairies.

2           What's been happening, of course, is that as the  
3 market begins to incentivize renewable energy, there's more  
4 and more digesters that we can build on. And so we hope to  
5 capture more and more of these types of dairies in the small  
6 to medium size range.

7           Next slide, please.

8           This is more the scale we're talking about now. This  
9 is our first -- in fact, California's first pipeline  
10 biomethane project. This is with Calgren Dairy Fuels. It  
11 was brought online about two, three years ago now. And in  
12 this case we built the gas cleanup facility in the center of  
13 an existing ethanol plant. So there's really two plants side  
14 by side. And we had to lay over 20 miles of pipeline all  
15 over Tulare County. So you can see the size of that line  
16 going in there.

17           Let's go to the next slide.

18           So this is a little hard to read but it gives you the  
19 idea of the scale. On the left-hand side of the map, that's  
20 Highway 43, south of Corcoran. That's the highspeed rail  
21 corridor. And down the center of the map, that's Highway 99  
22 which of course is our main artery. And east to west, this  
23 is about 14 miles. And you see all those pipelines.

24           What we're doing is we're gathering gas from all  
25 these different dairies. That slide says 13 digesters online

1 injecting RNG to SoCal. I think it's actually 14 or 15 now.  
2 We're going to end up at at least 25 by the time we're done.  
3 So we're at over 4 million GGE a year, or say 400,000 MMBtu's  
4 of biogas a year at our current size. It'll probably  
5 approach double that size in future.

6 This is just the most established one. The other  
7 presenters from PG&E, Francois talked about CalBio has one  
8 down in Kern County and some others they're working on. I'm  
9 not sure the status but they are -- they're very similar to  
10 this. This is essentially the dominant business model which  
11 is to combine groups of digesters and inject. So I know they  
12 have several at they're building. We've got three other ones  
13 for sure that this group is aware of because they've had  
14 contact with PUC under the pilot project and with the CEC.  
15 That's one in Fresno County, one in Kings County, and one in  
16 Merced County.

17 Two of those will inject into the PG&E line later  
18 this year as you heard a little bit later. So those will be  
19 the first two in PG&E. You'll notice that these dairies are  
20 close enough to connect. So we've done our best to build in  
21 locations where the dairies are fairly concentrated. But  
22 once you have invested in the expense of equipment and the  
23 expense of backbone pipeline, it gets easier and easier to  
24 expand and capture more dairies.

25 So for example, the Merced pipeline project, which is

1 already about 18 or 19 dairies, that will be on later this  
2 year, that was funded with the pilot project funding from the  
3 CPUC. We originally built it for just 8 or 9 dairies, but  
4 it's already going to be, as I said, at least 18 or 19 and  
5 maybe more. And that's because it got pilot project funding  
6 so that we could afford to build out that initial backbone  
7 infrastructure. And now on our own, we can go out and expand  
8 it in the future.

9           Now it's really expensive to get these started. It  
10 takes a long time, the interconnection they're quite  
11 expensive to make sure we get all the safeties and quality  
12 controls correct. And the costs do tend to run high. For  
13 all of us that got into this industry a few years ago, we ran  
14 quite expensive when we actually had to build these and deal  
15 with CEQA and environmental litigations and unionization of  
16 all the other things which is good because it's really good  
17 that the pilot project and these other programs, the CEC low  
18 carbon fuels production program exists to help these things  
19 get off the ground. And I believe even the pilot project has  
20 a mechanism for if the costs run over and they're found to be  
21 reasonable, that those could be reimbursed which is really  
22 critical to us getting expanded to more and more dairies. So  
23 we hope to have clusters like this between us and others in  
24 the industry, at least 7 or 8 of them running in the next  
25 couple of years.

1           Next slide, please.

2           Virtual pipeline is an option. So some of the other  
3 presenters are describing that if your dairy is not near a  
4 pipeline, we have two options. You know, we can extend the  
5 pipeline which we have done and we're going to continue to  
6 do. Up in Merced, with the benefit of pilot project funding,  
7 we're actually connecting to two dairies. One of them has  
8 less than 1,000 cows which as far as I know will be the only  
9 dairy in the state that has less than 1,000 cows making RNG.  
10 And another one is just barely over 1,000. Those weren't in  
11 the original pilot project application but because the pilot  
12 project exists and we can -- we can get those costs  
13 reimbursed, we can build out to additional dairies.

14           But in some cases, that's not possible. So we are  
15 running a virtual pipeline from one, two, three dairies as we  
16 speak and another one or two coming online soon where we  
17 compress and clean up the gas at the dairy and then we truck  
18 that gas to the injection point. It's not quite as cost  
19 efficient but it does make sense for dairy gas, especially if  
20 you've already paid for the baseline infrastructure to  
21 connect to the utility as we have. So we'll have, let's see,  
22 both of these will be in PG&E territory in addition to the  
23 one we have in SoCal. So we'll have three different  
24 locations where we can truck in gas.

25           And that doesn't have to be dairy gas. We're

1 actually in conversation with the variety of folks that have  
2 landfill gas or other wastewater gas and they don't have to  
3 (audio lost) with the pipeline. Once the operational  
4 expertise and the equipment is there, we can bring in gas  
5 that way. And it was a lot of work but with the support  
6 we've gotten, that is another viable option.

7           Next slide, please.

8           Combined heat and power is still very possible and  
9 very viable. We've got about a dozen projects that are still  
10 running gensets which we actually packaged up in Northern  
11 California and install them and maintain them here in the  
12 state. In some cases we've converted over from combined heat  
13 and power. But in other cases we try to participate in the  
14 LCFS market which there are ways to do that with power  
15 generation so that you're supplying electricity to electric  
16 vehicles.

17           Now the way the Air Board does the rules on that, you  
18 don't quite get as many carbon credits and you don't get a  
19 federal RIN, so it is not quite as profitable as doing RNG.  
20 But for some dairies this may be the best way to go and  
21 obviously we have to work very hard to meet air emissions.  
22 Half of that picture is our SCR catalyst for meeting  
23 emissions which continues to be a challenge but the engine  
24 can make it, it just requires a lot of know-how and a lot of  
25 upfront investment to make sure that we can meet the Central

1 Valley air quality requirements.

2 Next slide, please.

3 I think this is my last slide. A lot of people have  
4 talked about the market before. Obviously with dairy  
5 digesters, the gas is going to the California Transportation  
6 market. As you can see by about 2019 or 2020, nearly all of  
7 the compressed natural gas vehicles in California were being  
8 supplied with renewable natural gas. Now the next stage of  
9 that development -- the first stage, as you can see, was  
10 pushing out conventional natural gas and replacing it with  
11 renewable natural gas. Now it looks like what's going to  
12 happen is that all the renewable natural gas that is not  
13 dairy gas will eventually be pushed out for natural gas that  
14 is from dairy gas. And so that's a process that is ongoing  
15 as we speak, including from a lot of out of state gas.  
16 Because one of the issues we in the California market are up  
17 against is folks out of state can oftentimes go faster and  
18 cheaper than we can just because if they're in the middle of  
19 say west Texas, it's just easier to do.

20 But thankfully we have, you know, policy incentives  
21 here and we have the world's largest dairy herd so we've got  
22 other advantages to help us keep supplying gas from  
23 California dairies as well and that is where the overwhelming  
24 majority of our company's work is as well.

25 So thank you very much for your time and we'll look

1 forward to participating in any panel questions.

2 MR. MATHIAS: Okay. Thanks very much, Daryl.

3 At this point I'll turn it over to the Commissioners  
4 for comments -- or questions and comments.

5 COMMISSIONER GUNDA: Yeah, thank you so much, John.  
6 Thanks for moderating the panel and thank you to the three  
7 presenters, that's incredible information Rizaldo, Francois,  
8 and Daryl. And some really important information for us to  
9 think through.

10 So I'm going to first begin with Commissioner  
11 Rechtschaffen. I believe he has a question.

12 COMMISSIONER RECHTSCHAFFEN: I have -- you just sort  
13 of make it up to me because you wouldn't let me on the dais  
14 at the start. I don't mind.

15 I have two questions. Rizaldo, could you do me a  
16 favor. Go back to your last slide where you talked about the  
17 potential. I don't know if you can bring that up but I just  
18 wanted to -- for you to remind us of the potential -- what  
19 the denominator is. You know, our current natural gas usage  
20 in California and how this potential compares to that. And  
21 maybe if you could give your best estimate of (audio lost)  
22 you think the potential since we hear a lot of varying  
23 estimates and we want to at least have a range of what we  
24 think is reasonable.

25 Is that a fair question to ask you?

1           MR. ALDAS: It is. I would say except that we don't  
2 have -- don't have that information. In the earlier  
3 presentation, there was estimate that came out of the UC  
4 Davis study. I think that's the philosophy in terms of the  
5 estimates of the RNG. What we have are some estimates of the  
6 resources. These are the biomass resource that are available  
7 at the time and projected into the future. But there are  
8 ways to convert that into potential volume of renewable  
9 natural gas. As I noted in my presentation most likely not  
10 all of these feedstock would be converted to RNG. But we  
11 have those estimated resources.

12           COMMISSIONER RECHTSCHAFFEN: What's the range of, you  
13 know, you hear 5 percent to 20 percent, 8 or 9 percent. What  
14 are you -- if you don't feel comfortable me putting you on  
15 the spot, that's fine. But I just wondered if you could give  
16 us your best professional judgment of what you think the most  
17 reasonable estimate is of the realizable potential compared  
18 to the, you know, our current usage in California.

19           And we can talk about this in the afternoon or, you  
20 know, we can --

21           MR. ALDAS: I could -- I could follow in that I just  
22 don't want to put out some numbers out there in terms of the  
23 range.

24           COMMISSIONER RECHTSCHAFFEN: Okay. Fair enough.

25           Commissioner Gunda, I had a question with Daryl, if I

1 can.

2 COMMISSIONER GUNDA: Please, Commissioner, please go  
3 for it.

4 COMMISSIONER RECHTSCHAFFEN: The ones where you're  
5 trucking the gas to the pipeline, what about the emissions  
6 environmental impact of that? And how are you thinking about  
7 reducing that impact both in terms of the direct emissions  
8 and other impacts.

9 MR. MAAS: So the simplest thing we can do and the  
10 main thing we can do is we run the trucks on CNG itself, as  
11 opposed to go on diesel which of course cuts down on  
12 emissions pretty significantly. But there still are some and  
13 we haven't found a way to get lower until someone can get us  
14 an electric truck which perhaps is coming. So we understand  
15 it's not quite optimal, we would always prefer a pipeline.

16 But other than running on CNG and we also tried to,  
17 you know, we used the pressurization and the container to not  
18 have to repressurize the gas you put it in the pipeline. So  
19 we try to be as efficient as we can with power, but there  
20 certainly are tradeoffs.

21 COMMISSIONER RECHTSCHAFFEN: Thank you.

22 COMMISSIONER GUNDA: Thank you, Commissioner  
23 Rechtschaffen.

24 I'll go to Commissioner McAllister or Commissioner  
25 Houck, do you have a question?

1           COMMISSIONER MCALLISTER:    No, I just -- I was  
2    thinking along the same lines as Commissioner Rechtschaffen.  
3    And maybe if there's -- I mean, I guess we have two -- two  
4    complementary problems, you know, we have the noncore and the  
5    core customers.  And sort of, you know, it's substitution of  
6    RNG for fossil on one or both of those.  Right?  So I guess  
7    the question is kind of, are -- what portions of the  
8    marketplace, you know, is RNG going to be.  Is the value  
9    proposition going to line up?  Right?  Is it -- is it retail,  
10   you know, core customer or is there some reason to sort of  
11   have the RNG go over to the power side?

12           I don't know if anybody has insight on the market  
13   aspects of that.  Maybe PG&E.

14           MR. RONGERE:  No, Commissioner.  At this point I  
15   personally don't have an insight on that.  I think it's a  
16   question of the market itself and the use of methane could be  
17   -- could be for different applications.  Today it's driven by  
18   transportation definitely after that we will see how it goes.

19           COMMISSIONER GUNDA:  Thank you, Commissioner  
20   McAllister.

21           Commissioner Houck, would -- do you have any  
22   questions?

23           COMMISSIONER HOUCK:  Sorry, too many mute buttons.  
24   Yes, I do.

25           Rizaldo, would you be able to go back to Slide 12?  I

1 know you weren't able to talk through that as much because I  
2 think the time had run out and just briefly about the woody  
3 biomass to RNG and whether there may be forest management  
4 synergy there and the cost comparison with the dairy  
5 digesters.

6 MR. ALDAS: Sure. Yeah. As I mentioned a while ago,  
7 if it's going to be halfway through to the process, but  
8 really, it's -- one of the options that are could be or  
9 potentially be exploring in terms of by using -- use of, you  
10 know, large number of woody biomass, forest biomass  
11 resources. Obviously, one of the options now are just using  
12 that in other aspects like gasification and converting that  
13 directly to electricity potentially providing a kind of a  
14 resiliency and the micro grid application. But there are  
15 options now in terms of the processes where you get that  
16 woody biomass process through, you know, a similar  
17 gasification (indiscernible), but there are additional  
18 process where they could -- it could be combined and then  
19 processed to RNG.

20 It's I would say something that we're looking at. We  
21 don't have the kind of pool resource out yet but there are  
22 different organizations that are working in that, West  
23 Biofuels are working with UC Davis, UC San Diego and NREL  
24 optimizing some of their process. Not just creating RNG but  
25 potentially other -- other biochemical product from the

1 process.

2 Then of course that (indiscernible) industry looking  
3 at the slightly different kind of gasification system and  
4 employing some commercially available process for biomethane.

5 COMMISSIONER GUNDA: Thank you, Rizaldo.

6 So I'm just going to make a quick request. I know  
7 this is supposed to end in another three or four minutes,  
8 this particular segment.

9 But, Heather, I would like to request a few extra  
10 minutes for us to take a few Q&A from public we've received  
11 in the chat. So with your permission, I'm going to extend it  
12 to 12:05, if possible.

13 But I do want to ask one question before I hand it  
14 off to Jennifer. I think anybody, Rizaldo, Daryl, or  
15 Francois. First of all, I can appreciate your expertise and  
16 boots on the ground knowledge of how we are transitioning  
17 this. I'm kind of still in the very learning mode at the  
18 very basic level so trying to kind of think through the  
19 policy choices that we might make as we move forward and it  
20 will take me into account, you know, that, you know, public  
21 opinion and how we -- how the analysis all come together.

22 So I think one broad question and I'm going  
23 to -- sorry for the long version of the question, is there an  
24 analysis or framework that we currently have and to look at  
25 pathways to maximize the economywide or local decarbonization

1 potential of biogas. The reason I frame it that way is, you  
2 know, as we think through the comprehensiveness of the  
3 decarbonization policies, you know, as we noted early on, the  
4 biogas RNG could play a very significant role in ensuring the  
5 liability and supplying energy to certain -- certain domains  
6 particularly.

7           So, you know, as we think about optimizing data and  
8 minimizing investments to really think about a -- think about  
9 it comprehensively from an economywide, is there a framework,  
10 you know, a pathway analysis being done on how do we best  
11 utilize biogas given the uncertainties and the change in  
12 policies but also the uncertainties that exist on adding  
13 investments that are necessary. It's kind of a loud  
14 conversation where you need to make investments to make this  
15 happen. At the same time, making them happen could, you  
16 know, have costs in investment risks in the long run.

17           So just wanted to frame that question, I hope I came  
18 out kind of clearly there. Any high-level thoughts on  
19 comprehensive thinking about RNG would be great.

20           MR. ALDAS: I would just mention that there's  
21 probably not one framework about. The study that I cited a  
22 while ago from the E3, that's one where we did some  
23 projections, considered a lot of different scenarios.

24           I'm not very familiar with all the different  
25 scenarios, but this is a look at the different

1 infrastructure, potential cost, air quality implication we  
2 want to achieve the economywide climate goals and focusing on  
3 some of the options. So look at decarbonization, I think  
4 that's one -- one framework, one study that we can look at.  
5 And there could be others out there.

6 COMMISSIONER GUNDA: Anybody? Rizaldo, Francois or  
7 Daryl want to add?

8 MR. RONGERE: Yeah, I would -- I would give those  
9 same recommendation. There are several studies now that have  
10 been -- developed to look at different pathways for  
11 decarbonization. And then look at the integration of  
12 renewable natural gas generally with different angles. And  
13 that's, perhaps, where you can find this information the best  
14 way. And -- but it's -- it's a complex question with a lot  
15 of variables, I'll tell you. And I think that view is  
16 keeping options is important and adjusting the function of  
17 the market and the needs we see of the market is also key.  
18 So looking at the different pathway help to understand the  
19 professional drivers but clearly there are different options  
20 right in front of us. And the future would decide along way.

21 MR. ALDAS: I would just add that --

22 COMMISSIONER GUNDA: (indiscernible)

23 MR. ALDAS: I'm sorry. Just add to what I mentioned  
24 a while ago about that study. There are also other studies,  
25 for instance from LBNL and UC Davis. Just kind of factoring

1 in what are some of estimates available from facility or from  
2 location. Just kind of looking at what would be best in  
3 terms of the applications or, you know, acknowledges that  
4 it's -- it's not a, let's say, holistic framework but it's a  
5 good factor in consider at looking at this overall aspects  
6 for the framework.

7 COMMISSIONER GUNDA: Thank you, Rizaldo. Thank you,  
8 Francois, for your answer too.

9 I know we have now Doug --

10 MS. RAITT: Commissioner, I think we lost your sound.

11 UNKNOWN SPEAKER: I think you muted yourself. Can  
12 somebody unmute it?

13 MS. RAITT: Commissioner Gunda, you were muted for  
14 the last part of what you were saying. Or maybe you're muted  
15 now.

16 COMMISSIONER GUNDA: Sorry. Are you ready to do the  
17 Q&A? I'm sorry. My -- my -- our car got started and then it  
18 got picked up. Sorry. Go ahead.

19 MS. RAITT: Sorry. All right. So --

20 COMMISSIONER GUNDA: Jennifer, if you want to get  
21 started on the Q&A.

22 MS. CAMPAGNA: Okay. Thank you. So I'm going to  
23 start with questions for Rizaldo. It's from Tom Roth. And  
24 there's two questions but I'm going to combine them because  
25 Tom had asked what is the cost produce a megawatt of energy

1 using Example 1. And then he also asked what's the cost  
2 including return on investment to produce a megawatt of  
3 energy using Example 2 and Example 3. How much funding was  
4 provided by the CEC or money from other state sources?

5 So I think if we could pull up the slides that have  
6 those examples, that may be helpful.

7 MR. ALDAS: Sure. I can just quickly respond to  
8 that.

9 MS. CAMPAGNA: Okay.

10 MR. ALDAS: Dollars per megawatt. I will not provide  
11 a number of that but the information is probably in terms of  
12 how much this facility is, particularly the one in the  
13 compound, the one in San Luis Obispo, which Example 1 and the  
14 dairy facilities area. In terms of the power purchase  
15 agreement they have it as PG&E, they are selling at 127.7  
16 dollars per kilowatt power for. I think that's pretty much  
17 the same for -- for the -- their facility but it should be  
18 along those lines. The one in San Luis Obispo, that's the --  
19 that's the amount that or the part their selling back  
20 electricity.

21 The Example Number 2 which is on the wastewater  
22 treatment facility, that particular facility is obviously a  
23 small scale. They only have 65 kilowatt of of microturbine.  
24 And all of the electricity produced are being used onsite  
25 that will be exported. But overall, in terms of their --

1 their analysis and measurement of the model interest they  
2 used, they're in place of about over \$50,000 savings in  
3 annual use of that electricity generation facility.

4 In terms of the funding the large demonstration  
5 projects, the example on food waste and green waste in  
6 Example 3 on dairy digesters, their funding level is  
7 \$4 million. The dairy digesters, there are three projects  
8 there. The first project on -- are about  
9 \$4 million. And the other project on combined heat and power  
10 is \$3 million.

11 While the wastewater treatment facility project  
12 that's all close to \$1 million I think in the funding.

13 MS. CAMPAGNA: Okay. Thank you, Rizaldo. So the  
14 other question -- another question is from Mike Federhoff  
15 (phonetic) from CEC. This is for Daryl Maas.

16 Daryl, you mentioned negative carbon footprints for  
17 biogas. This point is often referred to but not always well  
18 understood. Can you explain further how a negative footprint  
19 comes about?

20 MR. MATHIAS: I think Daryl may have had to drop off.  
21 So.

22 MR. BRYANT: Yeah, this is Doug, if you guys can hear  
23 me. I'm the Communications Director for Maas Energy Works.  
24 I was here to supplement in case he lost reception there.

25 But the negative footprint for biogas generally

1 occurs because the methane isn't being -- it's not like  
2 extracting natural gas out of the ground where there's a  
3 resource that you're going to -- that's already polluting  
4 that you're -- or sorry, it's a resource that you're  
5 capturing. This is more as a pollutant that's already  
6 affecting the environment that we're now capturing and  
7 removing that pollution out of the air. And so that's why  
8 it's a negative carbon footprint because the little bit of  
9 carbon involved in processing it is far outweighed by the  
10 negative reductions of carbon from the environment just by  
11 removing that methane from the environment.

12 MS. CAMPAGNA: Okay. Thank you, Doug.

13 MR. BRYANT: Uh-huh.

14 MS. CAMPAGNA: So we have another question, Doug,  
15 that you could probably answer from Kevin Peace (phonetic).

16 Have you considered co-digestion of woody biomass in  
17 your existing or future RNG digestion sites?

18 MR. BRYANT: We have not considered it strongly as of  
19 yet. The main reason is that as soon as you start to mix  
20 other substrates or other feedstocks with dairy manure, it  
21 starts to dilute that carbon, that negative carbon intensity  
22 and therefore reduce the amount of credits generated with the  
23 gas. And so food wastes, other things like that in  
24 California and other states we haven't really considered  
25 blending the two with the dairy manure simply because it

1 actually takes away from the revenue. It makes the projects  
2 less feasible.

3 MS. CAMPAGNA: Okay. Thank you, Doug.

4 This question is for Francois from Brent. Who is  
5 buying the gas off taker for the PG&E injection site, utility  
6 PPA or commercial customer?

7 MR. RONGERE: (Indiscernible) commercial customers.  
8 We are not actually directly involved. It's through the LCFS  
9 program for all the projects I mentioned before.

10 MS. CAMPAGNA: Okay. Thank you, Francois.

11 We have a clarification question for Stephan from  
12 Verdant. John Hake (phonetic), I'm sorry if I'm not saying  
13 that correctly.

14 For the RFS credit value, what RIN type was assumed  
15 D3 or D5?

16 MR. BARSUN: I believe -- I mean, I will double check but  
17 I believe that a D3 which is the predominant one that if you  
18 have cellulose you're able to use. But let me -- I have it  
19 in my afternoon slides and would be just -- if I can find it.  
20 Give me a second. Just don't want to state something that  
21 was erroneous.

22 Aw, yes, the majority was assumed to be D3. So it's,  
23 you know, 15 to \$20 per MMBTU once you do the conversion from  
24 gasoline equivalent and run numbers.

25 MS. CAMPAGNA: Thank you. So another question for

1 you, Stephan, from Kelsey Hallahan. The question came up  
2 during your presentation.

3           What is the main barrier preventing biogas producers  
4 from injecting that gas into the pipeline grid? Two small  
5 volumes or extensive building connection to pipelines, the  
6 lack of pricing incentive. And of course the question can be  
7 answered by others as well if they'd like to (indiscernible.)

8           MR. BARSUN: My -- my understanding and I think, you  
9 know, Francois or others from the gas, you know, the  
10 utilities can probably chime in and one -- Doug, probably, is  
11 it's a little bit of all those. The -- you know, the bigger  
12 the supply you have, the more you can spread out your  
13 economies of scale. So you have to have enough supplies for  
14 it to make sense.

15           And then during Daryl's presentation, you heard about  
16 clustering. And, you know, one of the challenges is, again,  
17 getting enough supply together close enough to a pipeline and  
18 then the other barrier is getting that gas to a quality that  
19 meets California gas pipeline standards which, you know,  
20 depending on your source, you need to do a variety of  
21 different processing techniques.

22           But again with wastewater and especially landfills,  
23 the siloxanes tend to be a bigger barrier than my  
24 understanding. When you're talking dairies, it then becomes  
25 more the sulfide's problem.

1           And others can chime in if I missed anything.

2           MR. RONGERE: Stephan, you summarize it very well. I  
3 think there are different aspects, one aspect has been the  
4 LCFS has been a critical catalyst in order to start the  
5 activity and by doing that solutions have been developed in  
6 order to facilitate the gathering of biogas injection in  
7 pipeline, et cetera.

8           So there are different components but definitely as  
9 we have seen in Europe the way to provide a driver for the  
10 market is critical in developing the industry.

11          MR. BRYANT: Yeah, I'll just add one more thing in  
12 that one of the big challenges you face of getting biomethane  
13 market is a lot of the bigger dairies as you were saying  
14 earlier, a lot of the low-hanging fruit are in -- are in  
15 projects or are already in the process of injecting.

16          As we move to smaller and smaller dairies, your  
17 inherent risk is a little bit higher. The smaller dairies  
18 are more susceptible to regulatory risks where new regulation  
19 comes out that just gets them to the point where it's just no  
20 longer viable for them to stay in business as well as a lot  
21 of the smaller dairies are older facilities and if water  
22 regulations come down, there's a lot of guys scared about  
23 that right now where they're going to be limited on water  
24 usage and have to fallow fields. Some of this it will just  
25 mean we can't -- they can't remain. And so it makes it a

1 little bit more challenging to even bring those projects to  
2 bear simply because if you have eight dairies committed all  
3 at about 1,000 cows, each of them has a little bit more risk  
4 on are they going to be around in five years or six years and  
5 not knowing the regulatory outlook for outlook in the market.

6 So there's a lot more dairies in California, but the  
7 more the biogas market expands down into the smaller dairies,  
8 there's a bit more risk that investors and developers and  
9 they're going to have to be kind of okay with taking on. And  
10 unfortunately, the cost of the project doesn't scale down  
11 with smaller dairies, the costs of the projects are still  
12 fairly expensive.

13 COMMISSIONER GUNDA: Thank you, Doug.

14 I think Jennifer just kind of in interest of time  
15 maybe we want to move to public comment. So thank you,  
16 Jennifer, for moderating that.

17 Thank you to all the panelists for being here to  
18 answer the questions.

19 With that, I'll pass it on to RoseMary for public  
20 comment.

21 MS. AVALOS: Thank you, Commissioner Gunda.

22 Please allow one person per organization to make a  
23 comment, and comments are limited to three minutes per  
24 speaker. I'll go first to those raised hands on Zoom.

25 And the first commenter is John White. You may need

1 to open the line on your end but you can go ahead and speak.

2 Please state your name, your first and last name, and  
3 your affiliation, if any. Thank you.

4 Go ahead, John.

5 MR. WHITE: Good afternoon. Thanks, again, to the  
6 Commission for another really interesting and thoughtfully  
7 prepared workshop.

8 I have a couple of concerns I'd like to express.  
9 First of all, I think we need to realize the need for some  
10 truth in advertising in this space. There are a lot of  
11 people using the term renewable natural gas. But to me, the  
12 out of state methane that's collected and counts under cap  
13 and trade is not a suitable definition. First of all, it  
14 undermines the actual renewable natural gas that's collected  
15 in California; and second, it creates the impression of  
16 things being greater than they are. This is particularly  
17 true with some hydrogen producers who are using the claim of  
18 renewable natural gas as their feedstock when in fact, that  
19 isn't what they're using. They're buying some credits from  
20 out of state that has no benefit.

21 Secondly, I think we need to be careful about  
22 creating incentives to grow the dairy industry in California.  
23 I don't know if it's in fact increasing, but what we know  
24 point apart from the renewable methane and the need to  
25 collect it from -- and I worked on AB -- SB1383.

1           So we don't want to expand dairies in California. We  
2 don't want more waste. These have serious local  
3 environmental impacts. And you need to at some point invite  
4 some of the folks from the Central Valley that have very,  
5 very unhappy experiences with the air pollution impacts of  
6 digesters. It's not just GHG, it's also criteria air  
7 pollutants. But similarly, the air pollution impact of  
8 combustion of this methane, particularly in reciprocating  
9 engines and other kinds of high pollution generators ought to  
10 not be encouraged.

11           So to me, we have a waste management problem and a  
12 methane management problem that and similarly landfills. You  
13 know, landfills, we want to collect that methane but we don't  
14 want more methane being created in the landfills which is why  
15 CalRecycle is pushing everybody to take organics out of the  
16 system. So we have to to recognize we don't want to create  
17 incentives for more landfill gas or for more dairies, what we  
18 want is the best environmental usage of those resources that  
19 we need to collect.

20           And I thank you for your attention and hopefully will  
21 try to provide some written comments.

22           Thank you.

23           MS. AVALOS: Thank you. Our next commenter is Julia  
24 Levin.

25           And for the record, spell your name and state your

1 affiliation, if any.

2 Go ahead, Julia, your line is open.

3 Julia Levin, your line is open.

4 MS. LEVIN: Hi. Julia Levin with BioEnergy  
5 Association of California. Can you hear me now?

6 MS. AVALOS: Yes.

7 MS. LEVIN: Great. Thank you.

8 So I want to thank the Commissioners and the staff  
9 and other presenters. There was a lot of very helpful  
10 information presented.

11 But I wanted to start by answering the question that  
12 Commissioner Rechtschaffen raised about what is the total  
13 potential of biomethane. Because I think unfortunately the  
14 first presentation included some really out of date  
15 information and it is time for the Energy Commission to stop  
16 citing studies from six, eight, ten years ago including one  
17 from the Bioenergy Association of California that I helped to  
18 write that are really out of date.

19 A lot of things have changed since some of those  
20 studies, particularly the one by Dr. Amy Myers Jaffe at U.C.  
21 Davis that was based on just 100 dairy digesters, a 100  
22 wastewater treatment projects, and a 100 landfill projects.  
23 We already have more than that in California. She never  
24 looked at biomass resources, urban wood waste, agriculture or  
25 forest waste, and she never looked at the potential for

1 medium and smaller dairies and wastewater treatment  
2 facilities.

3 Her report at the time on page 1 says it was never  
4 intended to be a complete assessment of in-state biogas  
5 potential. It was intended to look at what was economically  
6 feasible at the time based on existing policies. That was  
7 before the adoption of SB1383 and the state's waste diversion  
8 laws. It was before the tree mortality crisis and SB901 and  
9 other policies that require forest fuel removal on a million  
10 acres a year, and a lot of other policy changes have occurred  
11 since then. So that study in particular is really no longer  
12 helpful to the conversation.

13 Similarly, the E3 study uses a population weighted  
14 average across the United States for our in-state biomass  
15 resource. That's just not good science at this point when we  
16 have actual technical assessments by Lawrence Livermore  
17 National Lab and others that look at California in  
18 particular. Things like forest waste, agricultural waste,  
19 and even urban wood waste are really not linked to  
20 population. And so population weighted averages are just --  
21 it's not good science at this point.

22 The other two things I wanted to mention are I think  
23 when we're looking at the total potential, it's really  
24 important to consider the cost effectiveness of carbon  
25 reduction from biomethane. The cost of the energy is

1 significant, as well it's an important data point. But  
2 biomethane can reduce carbon emissions more cost effectively  
3 than any other tool we have in California. That's not my  
4 opinion, that is the summary of the California Air Resources  
5 Board -- California Air Board's report to the legislature  
6 from just a couple of months ago on the state's climate  
7 investments.

8           And that report found unequivocally that the two most  
9 cost effective of all of the state's carbon reduction  
10 investments are investments in dairy digesters and diverted  
11 organic waste projects which are reducing carbon at the tiny  
12 cost of 9 and \$10 per ton, respectively. That compares to  
13 \$200 per ton under the low carbon fuel standard and even more  
14 expensive investments in other things that we're doing.

15           So as we're looking at the data around biomethane,  
16 it's really critical to consider the cost effectiveness  
17 because biomethane is reducing the most damaging climate  
18 pollutants and providing carbon negative emissions.

19           Thank you.

20           MS. AVALOS: Thank you. The next commenter is Mike  
21 Catone (phonetic).

22           Please for the record, state and spell your name and  
23 state your affiliation, if any.

24           Go ahead, Michael, your line is open.

25           Okay. We have now Michael Boccadoro.

1 MR. BOCCADORO: Yes, Michael Boccadoro, can you hear  
2 me?

3 MS. AVALOS: Yes. Go ahead, Michael.

4 MR. BOCCADORO: Michael Boccadoro with the Ag Energy  
5 Consumers Association.

6 Thank you very much for the good discussions this  
7 morning. I think as many of the Commissioners know, I've  
8 been deeply involved in the dairy methane reduction efforts  
9 in California since the beginning. And we've made tremendous  
10 progress in large part because of the commitment by the state  
11 in terms of funding for the digesters on dairies in terms of  
12 the funding for the cluster projects that Commissioner  
13 Rechtschaffen led at the Public Utilities Commission and some  
14 of the other incentives from the Energy Commission that had  
15 allowed these projects to get up and operating.

16 We need to continue making that progress. I think  
17 all the recent reports coming out of the U.N., the last two  
18 reports including the one two weeks ago show  
19 the importance of reducing methane. And follow up to Ms.  
20 Levin's comment, the Dairy Methane Reduction Program was  
21 funded by the climate investments portfolio is providing 29  
22 percent of all the reductions of all the programs funded  
23 using just 2.1 percent of the available funding. And it  
24 would be a crime not to continue funding that program.

25 In response to the comments from John White, there's

1 no concern about incentivizing dairies in California to where  
2 we're going to be increasing the number of cows in the state.  
3 We're actually seeing a decline overall in the dairy sector  
4 in California in terms of the number of cows. We've been  
5 seeing that decline since 2008 and all expectations are is  
6 that we're going to continue to see that decline over time  
7 even with these incentives. It's just much easier to dairy  
8 in other states. And you're going to see the increase in  
9 demand for dairy products both nationally and internationally  
10 is going to be me in others regions of the country and other  
11 regions of the U.S., not here in California for a variety of  
12 reasons.

13 I want to underscore the comments from Mr. Bryant at  
14 Maas Energy about the risk of these smaller dairies. That's  
15 very real. We're not going to see a lot of these smaller  
16 dairies as prime opportunities for digester development.

17 And that gets to the last point I want to make is  
18 most of the estimates including, you know, the estimate of  
19 maybe 900 dairy digesters that Verdant had in their slide,  
20 that's not going to happen in California. I work closely  
21 with the entire industry and our estimates are closer to  
22 maybe 300 which would be double the 140 to 150 we currently  
23 have either operating or in line to be operating in  
24 construction in the next few years. So the idea that we're  
25 going to have 900 digesters on dairies, that's just not

1 feasible economically in the state. At least not with --  
2 without a greatly expanded incentives to make that happen.

3 But we do need to continue providing incentives to  
4 these projects. That would be the interconnection incentives  
5 by the Public Utilities Commission. We may want to look into  
6 funding a couple of more cluster projects in the state and we  
7 certainly want to continue to CDFA, a dairy digester program  
8 which has shown to be the most cost effective. And we can't  
9 lose sight of the fact that it's all methane and the U.N.  
10 reports are demonstrating the need for methane reduction in  
11 the state. We need to continue these good programs.

12 Thank you.

13 MS. AVALOS: Thank you. And our next commenter is  
14 Evan Edgar.

15 Please state your name for the record and state your  
16 affiliation, if any.

17 Your line is open. You may need to unmute on your  
18 end, Edgar -- Evan.

19 MR. EDGAR: Hello, my name is --

20 MS. AVALOS: (Indiscernible.)

21 MR. EDGAR: Hello, my name is Evan Edgar, I'm the  
22 engineer for the California Compost Coalition. We are RNG  
23 producers, fleet operators, and compost producers throughout  
24 the state of California. And basically represent the solid  
25 waste industry, the urban sector. We have a fleet of about

1 15,000 vehicles out in California about half are on RNG,  
2 other half are on diesel. And we are motivated to get off  
3 diesel and produce more RNG.

4 We're heavily vested in the SB1383 program at  
5 CalRecycle that was mentioned. We want to reduce 75 percent  
6 on the urban waste from the landfills by 2025. We already  
7 have a billion dollar investment in California with in-state  
8 AD facilities and we need to make another \$3 billion worth of  
9 an investment to fulfill that mandate to reduce short-lived  
10 climate pollutants. As you know, the one and only tools left  
11 to bend the climate curb to stop catastrophic climate change.  
12 So we're totally motivated to continue RNG development.

13 There was a report produced last year by GNA  
14 Associates, it's an assessment of California's in-state RNG  
15 supply for transportation from 2020 to 2024. And it's pretty  
16 on target of what's going on in the marketplace. What  
17 they're predicting is going to be 160 RNG developments  
18 underway now. We'll produce 119 million diesel gallon  
19 equivalents of RNG with a carbon intensity averaging a minus  
20 100. And that's amazing. And that's enough fuel to fill  
21 14,000 vehicles.

22 So what we have here is a perfect circular economy  
23 where we're taking the urban food waste and organics out of  
24 the landfill, putting it right back into the CNG truck  
25 platform with an RNG in-state supply. So we'd like to

1 continue on with the RNG, continue on with 1383, and find a  
2 place for that within the IEPR. Because over at CARB, we're  
3 feeling that they're pushing electrification too fast, too  
4 soon. It's a generation away.

5 It doesn't have the duty cycle, it doesn't have the  
6 infrastructure for fueling, it's just not there yet. So  
7 we're pushing real hard to continue reducing criteria  
8 pollutants where there are near-zero NO<sub>x</sub> in their CNG engine  
9 with in-state RNG that's carbon negative. And we just want  
10 to make sure that CEC is supportive of that because over at  
11 CARB, we feel that their -- their push to electrify too soon  
12 is not finding a market for RNG. They -- they would like to  
13 move RNG to another platform and we'd like to continue on  
14 with the perfect mousetrap in a circular economy at community  
15 scale to fulfill the intent of 1383, reduce short-lived  
16 climate pollutant and then the climate curve.

17 Thank you very much.

18 MS. AVALOS: Thank you. Our next commenter is Brian  
19 Biering.

20 And please, state your name for the record and state  
21 your affiliation, if any.

22 Brian, your line is open. Brian, your line is open.

23 MR. BIERING: Hi, this is Brian Biering on behalf of  
24 Dairy Cares. My last name is spelled, B, as in boy, i-e-r-i-  
25 n-g.

1 Dairy Cares represents dairy digester developers,  
2 dairies, and dairy processors. We really appreciate the  
3 Commission and the other sister agencies taking a close look  
4 at potential for renewable natural gas development in  
5 California.

6 As a number of the commenters expressed, the state  
7 incentives and various programs have been critical to  
8 ensuring the emission reductions are realized in this sector.  
9 And as Mr. Boccadoro and Mr. Maas and others have  
10 acknowledge, there is still considerable work to be done,  
11 particularly at the smaller dairies in California.

12 We don't see this as a risk of, you know, in terms of  
13 applying more incentives, you know, leading to greater dairy  
14 production in California. What we're really fighting for is  
15 ensuring that these smaller dairies can remain in California  
16 and not move out of state which would create a significant  
17 risk of emissions leakage which the Commission and other  
18 sister agencies are aware is a global pollutant and that is a  
19 risk to the environment.

20 So we really do see a need to continue the incentive  
21 programs. They're already in place, expand those incentive  
22 programs and ensure that dairy digester developers are able  
23 to compete with other types of RNG developers for various  
24 types of programs that may not just be focused on the LCSF  
25 program. The LCSF certainly does create a price incentive to

1 sell dairy biogas into the LCSF market, but it does not have  
2 that longer term certainty that's -- that's really needed to  
3 make some of the investments particularly in some other  
4 smaller dairies.

5 So ensuring that there are opportunities available to  
6 dairy digesters for developers to make their biogas  
7 available, for example, to the (indiscernible) utilities is a  
8 critical path forward ensuring that the state does meet the  
9 SB1383 emission reduction targets and the broader emission  
10 reduction targets required by SB100.

11 We appreciate the opportunity to be here and thank --  
12 again, thank the agencies for taking the time to take a close  
13 look at this.

14 MS. AVALOS: Thank you. That concludes comments from  
15 those on Zoom. We'll move on to folks on the phone lines.  
16 And a reminder to phone users, dial star 9 to raise your hand  
17 and star 6 to mute and unmute your phone.

18 I'll give a few seconds to those who are on the phone  
19 if you want to raise your hand.

20 All right. That concludes complete public comments.  
21 I'll turn now to Commissioner Gunda.

22 COMMISSIONER GUNDA: Thank you, RoseMary. Thank you  
23 for moderating the public comment.

24 Just want to kind of begin and, you know, just  
25 thanking everybody again one more time for taking the time to

1 provide your expertise on the panel today. And as I started  
2 my comments earlier today the importance of all the work that  
3 staff are doing in advancing this conversation, I just want  
4 to recognize the importance of the stakeholder feedback and  
5 the public comment. That really helps us think through these  
6 -- the various elements from a broad perspective.

7 So I just want to thank all the public commenters and  
8 really encourage you providing some written comments and then  
9 pointing to any analysis data that we should be thinking  
10 through as we develop a record for IEPR this year.

11 I also want to thank just Commissioner Houck and  
12 Commissioner Rechtschaffen for joining from CPUC and  
13 continuing this interagency conversation. We look forward to  
14 having you all in the afternoon, but before I go there, I  
15 want to see if any other commissioners want to provide any  
16 closing comments.

17 COMMISSIONER HOUCK: This is Commissioner Houck. I  
18 just wanted to thank the CEC for inviting us to participate  
19 in this workshop. I learned a lot this morning and want to  
20 thank the presenters and the public and other participants  
21 for their participation and look forward to this afternoon's  
22 session.

23 COMMISSIONER GUNDA: Thank you, Commissioner Houck.

24 COMMISSIONER MCALLISTER: And just to say thanks to  
25 all the presenters. This is really informative. And in

1 particular Mr. Maas and just the folks who really have their  
2 boots on the ground doing projects and helping develop this  
3 market and also learning all the -- all the lessons and  
4 gaining insights that we need to really do good policy. I  
5 think that is just invaluable. That's -- that's the best of  
6 learning by doing and it really does help policy when we  
7 convene a conversation that in some ways might seem a little  
8 theoretical but really part of that process here the benefit  
9 of being here together having a discussion is to make it  
10 grounded and pragmatic in a way that we can actually make it  
11 happen. So policy can do that if we do it right.

12 So really appreciate everybody's contribution to that  
13 process and looking forward to the afternoon.

14 Thank you, Commissioner Gunda.

15 COMMISSIONER GUNDA: Thank you, Commissioner  
16 McAllister.

17 Want to see if any other commissioners we have. I  
18 believe Commissioner Rechtschaffen had to jump off. I'm sure  
19 he's going to join for the afternoon.

20 So again, thanks everybody for attending and  
21 participating this morning. Please join us for the afternoon  
22 session on policy approaches for RNG. It'll start at 2 p.m.  
23 I really look forward to that conversation.

24 With that, I'll pass it to Heather to adjourn for the  
25 morning.

1 MS. RAITT: All right. Sounds good. We're done.

2 Thank you, Commissioners.

3 (Thereupon, the Hearing was adjourned at 12:34 p.m.)

4 --oOo--

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24


25

## CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 3rd day of December, 2021.



ELISE HICKS, IAPRT CERT\*\*2176

**TRANSCRIBER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 3rd day of December, 2021.



---

Barbara Little  
Certified Transcriber  
AAERT No. CET\*\*D-520