

DOCKETED	
Docket Number:	21-IEPR-06
Project Title:	Building Decarbonization and Energy Efficiency
TN #:	240878
Document Title:	Transcript- 9-10-21 IEPR Commissioner Workshop on Building Decarbonization Quality Installation of Heating and Air Conditioni
Description:	Transcript- 9.10.21 IEPR Commissioner Workshop on Building Decarbonization: Quality Installation of Heating and Air Conditioning Equipment
Filer:	Raquel Kravitz
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	12/9/2021 9:04:11 AM
Docketed Date:	12/9/2021

STATE OF CALIFORNIA
CALIFORNIA ENERGY COMMISSION

In the matter of:

2021 Integrated Energy Policy) Docket No. 21-IEPR-06
Report (2021 IEPR))
)
) RE: Building
) Decarbonization:
) Quality Installation of
) Heating and Air
) Conditioning Equipment

IEPR Commissioner Workshop on Building
Decarbonization: Quality Installation of Heating and Air
Conditioning Equipment

REMOTE VIA ZOOM

FRIDAY, SEPTEMBER 10, 2021, 9:30 am

Reported by:

Elise Hicks

APPEARANCES

COMMISSIONERS

J. Andrew McAllister, Lead Commissioner for the 2021 IEPR

CONTRACTOR'S STATE LICENSE BOARD

David R. Fogt, Executive Officer

PANELIST MODERATORS

Bill Pennington, California Energy Commission (CEC) Advisor
to Commissioner McAllister

Fritz Foo, CEC Advisor to Commissioner McAllister

PANELISTS

Josh Dean, California Energy Alliance

Alex Ayers, Heating Air Conditioning and Refrigeration
Distributors International

Randy Young, Sheet Metal Workers Local 104

Scott Blunk, Sacramento Municipal Utility District (SMUD)

Mike MacFarland, Energy Docs Home Performance

Bob Wiseman, Institute of Heating and Air Conditioning
Industries

Aris Knoles, County of Sonoma

Brian Keefer, County of Sonoma

Ron Davis, City of San Jose

APPEARANCES (cont'd)

IEPR TEAM

Heather Raitt

CEC STAFF

RoseMary Avalos

1

1 P R O C E E D I N G S

2 9:30 A.M

3 MS. RAITT: I'd like to just give a minute for
4 people to log on.

5 Alright, well, let's go ahead and get started.
6 Good morning, everybody. Welcome to today's 2021 IEPR
7 Commissioner Workshop on Building Decarbonization, Quality
8 Installation of Heating and Air Conditioning Equipment.

9 I'm Heather Raitt, the Program Manager for the
10 Integrated Energy Policy Report, or we refer to it as the
11 IEPR for short.

12 This workshop is being held remotely consistent
13 with Executive Order N-08-21 to continue to help California
14 respond to, recover from, and mitigate the impacts of the
15 COVID 19 pandemic. The public can participate in the
16 workshop consistent with the direction in the Executive
17 Order.

18 To follow along, the schedule and slide decks have
19 been docketed and are posted on the Energy Commission's
20 website. Just go to the 2021 IEPR page. All IEPR
21 workshops are recorded and a recording will be linked to
22 the Energy Commission's website shortly following the
23 workshops, and a written transcript will be available in
24 about a month.

25 Attendees had the opportunity to participate today

1 in a few different ways. For those joining through the
2 online Zoom platform, the Q&A feature's available for you
3 to submit questions. You may also upload a question
4 submitted by someone else. Click the thumbs up icon to
5 upload. Questions with the most uploads are moved to the
6 top of the queue.

7 We'll reserve a few minutes near the end of each
8 panel to take questions, but likely, we'll not have time to
9 address all the questions submitted.

10 Alternatively, attendees may make comments during
11 the public comment period at the end of the morning.

12 Please note that we will not be responding to questions
13 during that public comment period. Written comments are
14 also welcomed and instructions for doing so are in the
15 workshop notice and written comments are due September
16 24th.

17 And with that, I'm pleased to turn it over to
18 Commissioner Andrew McAlister who's the lead for 2021 IEPR.
19 Thank you.

20 COMMISSIONER MCALLISTER: Thank you, Heather. I'm
21 really happy to be here. I want to first acknowledge you
22 and your team for putting together all of these workshops
23 in the IEPR. Generally, the building decarbonization track
24 within that, and specifically today's workshop. And I also
25 just have to recognize all the staff in the Efficiency

1 Division who've been working on so many fronts.

2 And in a way, the IEPR kind of comes over as an
3 overlay to all their day jobs, working on specific issues
4 in Buildings Efficiency, and Load Management, and all the
5 other things we're working on; the Building Code update,
6 Appliance Standards, flexible demand – Appliance Standards,
7 just the list is arm's length and longer.

8 And so, I just want to acknowledge that and all
9 the ... from Mike Sokol, the deputy, all the way down through
10 all the offices and all the individual teams and cross-
11 cutting efforts -- I just want to acknowledge that there's
12 a lot going on and people are just rolling up their sleeves
13 and giving their best effort every day. And I just want to
14 appreciate that across the Commission.

15 And for this workshop, I also want to acknowledge
16 all the panelists and really want to thank them for their
17 time and attention here. I know they have day jobs and
18 also are chiming into a Commission event and preparing for
19 that is not a trivial investment of their time and
20 expertise. And so, I want to appreciate all of them as
21 well.

22 Bill Pennington and Fritz Foo and Bryan Early on
23 my team; Bill and Fritz are moderating today's sessions.
24 And Bryan is always behind the scenes, making sure that
25 what needs to happen does happen and my office is fully

1 engaged on the issues as they come up. So, just a big team
2 effort here, I want to acknowledge.

3 This topic of quality installation of HVAC
4 equipment is one that's kind of been long simmering. And
5 it's a relatively difficult topic in terms of there's no
6 perfect solution here. And what we're talking about is
7 kind of an ecosystem that needs some care and feeding and
8 needs some course correction, and is a very diffuse
9 activity.

10 We have hundreds of thousands of replacements
11 happening every year in existing buildings. They're
12 relatively small projects. We have an incredibly diverse
13 state. We have thousands and thousands of contractors
14 installing a variety of different equipment, and across
15 many, many, many local jurisdictions who have the
16 permitting and the enforcement obligations.

17 And so, there's just a lot of chefs in this
18 kitchen and it's a pretty complex meal. And so, I think
19 there's an ongoing need for creative thinking and for
20 improvement, just continuous improvement.

21 The positive message, and I think why we're having
22 this workshop now today is that we have increasing numbers
23 of tools in our toolbox, the digital age is kind of helping
24 create lower costs, reduce transaction costs, and enabling
25 tools to help this ecosystem function properly.

1 And that's both on just the quality of activity
2 out there in the marketplace, the installations, the
3 ability of consumers and others to get information, the
4 contractors and building departments to work together. And
5 COVID has sort of stimulated a lot of innovation on that
6 front in terms of not having to be physically present at
7 every step. So, we'll hear about some of that today.

8 And I want to just highlight that we have a real
9 opportunity as the state pivots to electric HVAC, to heat
10 pumps, as those installations take place, and as additional
11 electrical panel changeouts and things like that become a
12 focus of state policy, that the permitting endeavor changes
13 in nature.

14 I think it's ... fingers crossed, but I believe it's
15 more likely, I think we believe it's more likely that
16 permits take place for wiring, generally for panel
17 replacements, et cetera. And that there's an opportunity
18 to both invite and apply and expect a little more rigor and
19 transparency and more widespread permitting for these jobs
20 because they do involve things that are much more likely to
21 get permits than just a straight HVAC changeout like for
22 like.

23 So, there are a lot of ideas. We've got a record
24 that's actually pretty long in multiple years already
25 around SB 1414. That activity really, we want to be

1 wrapping that up in earnest here in the next couple or few
2 months.

3 And so, this workshop today is really along those
4 lines, that we want to refresh the record, bring in the new
5 ideas that have cropped up in the last couple or few years,
6 and highlight some of the innovation in this realm.

7 And so, I'm really happy with the range of
8 participants today, panelists - I won't read them all by
9 name, but they will come up. And then also, we have
10 invited David Fogt from the Contractors State License Board
11 to be with us on the dais. He does have a potential time
12 conflict. So, I just want to acknowledge that he may be
13 showing up here in the next little while.

14 MS. RAITT: Commissioner he's here, actually.
15 He's joined.

16 COMMISSIONER MCALLISTER: Oh great.

17 EXECUTIVE OFFICER FOGT: Yeah, Commissioner, I'm
18 here.

19 COMMISSIONER MCALLISTER: Oh, here he is. Okay,
20 thanks a lot. Sorry about that. I have a limited number
21 of Hollywood squares on my screen here, so I didn't see you
22 crop up. But you certainly deserve the top Hollywood
23 square. So, thanks for being with us.

24 And I wanted to just highlight just the multiple
25 jurisdictions, the various entities that are involved in

1 this ecosystem as we could call it, and that there are a
2 lot of synergies, I think now; there's a lot of opportunity
3 to collaborate with the CSLB and local building departments
4 and others to kind of unpack the process, relative process
5 improvements, take advantage of our access to better data,
6 think about how we could develop our authority at the
7 Energy Commission to support enforcement activities.

8 At the same time, you know, we don't want it to
9 just be sticks. There need to be carrots and it does have
10 some cost. And so, reducing that cost and highlighting the
11 benefits of proper installation, quality installation, and
12 alongside that, permitting as required by law.

13 And so, I think there's a lot of sort of common
14 interest across our two agencies, certainly. And again,
15 we're working with the Public Utilities Commission and the
16 Air Resources Board, and everyone on building
17 decarbonization more broadly.

18 And as we pivot towards electrification and heat
19 pump technologies, there's just the real opportunity for
20 alignment and for refreshing the policy and enforcement
21 regime around heating technologies and buildings.

22 So, with that, David, I'll pass the mic to you in
23 case you want to make some opening comments here. I really
24 appreciate your being with us. I think you've seen the
25 agenda. We have a couple panels. First one kind of

1 focused on some industry participants and the next one on
2 some new technologies that are out there that we might
3 avail ourselves of.

4 So, pass it over to you. Thanks for being here.

5 EXECUTIVE OFFICER FOGT: Thank you Commissioner
6 McAllister and good morning to everyone that's
7 participating today. I just want to really thank you all
8 for the opportunity to be part of this workshop. At the
9 Contractors State License Board, permit compliance in
10 working with the California Energy Commission has been a
11 top priority.

12 So, I look forward to sharing some ideas with all
13 of you later this morning, and maybe talking about some of
14 the tools that we now have to increase compliance for
15 permit requirements. I mean, one tool's our letter of
16 admonishment, which requires that a contractor that doesn't
17 obtain a permit, take a course on the need to obtain a
18 permit and why permits are so important.

19 We have a training video that was put together by
20 building officials throughout the state, and we're finding
21 that to be really very effective. So again, thank you for
22 having me this morning. I look forward to contributing.

23 COMMISSIONER MCALLISTER: Great. Well, thank you
24 so much for being here and I look forward to your
25 contributions. I will say to everyone here, I do have a

1 time conflict. I have to step out for a Western Interstate
2 Energy Board meeting at 10, and that I'm at the front end
3 of the agenda. So, hopefully, I can be back expeditiously.

4 But when I disappear at 10, hopefully, this won't
5 be a surprise for folks. I'll come back as soon as I can.
6 So, with that, I want to pass it to Heather to introduce
7 our first panel and with Bill Pennington moderating.

8 MS. RAITT: Yeah. Great, thanks Commissioner.
9 So, as we mentioned ... well, I'm Heather, so Bill Pennington
10 is the first moderator and he's actually a technical
11 advisor to Commissioner McAllister. And so, he's going to
12 be moderating the panel on actions to improve the quality
13 of installation of HVAC equipment. So, go ahead, Bill.
14 Thank you.

15 MR. PENNINGTON: Okay, thank you. Can you see my
16 video?

17 MS. RAITT: Yes, you're good.

18 MR. PENNINGTON: Okay, beautiful. Could you open
19 the slides for me please? Thank you.

20 Alright. So, next slide, please.

21 So, I'm just going to try to give some background
22 to the issue area that we're talking about today, a little
23 historical background and kind of how that's brought us to
24 today.

25 The Energy Commission first started doing

1 Appliance Standards and Building Standards in 1978, and
2 that was all about efficiency ratings and that sort of
3 thing. And it became quite clear about 15 years in on
4 that, that the quality of installation was potentially a
5 major detractor from the savings that we were trying to
6 accomplish otherwise.

7 So, there actually was national research at that
8 time in the mid-nineties, early nineties, that identified
9 widely that there were installation problems and those
10 problems could lead to energy saving losses of 30 to 40%.
11 And also, the defects in installation could lead to comfort
12 problems and indoor air quality problems.

13 So, it's very significant and, and the Energy
14 Commission felt like it needed to address this within the
15 Building Standards. And actually, we were the first
16 Building Code nationwide to start trying to think about
17 this problem.

18 And so, the commission was active in the early
19 nineties. We were on the ASHRAE Standard 52 committee, a
20 historic committee on duct leakage testing, and Jon Leber
21 from the Energy Commission staff was secretary to that
22 committee, Mark Modera led it. So, it was a really
23 California-driven committee.

24 We also had an active collaboration at that time
25 with CBIA and IOUs to try to develop installation protocols

1 on HVAC equipment and other things. So, we called that the
2 Quality Home Program, and it was pretty active in that
3 timeframe.

4 And then beginning in that time period, and kind
5 of starting off with LBNL research related to ducts, and
6 then branching off into other problems, the commission has
7 sponsored or been engaged in field research related to
8 these problems for a long time.

9 And some of the sort of brightest researcher names
10 in the state were involved in that; Mark Modera, Iain
11 Walker, Bruce Wilcox, John Proctor, Rick Chitwood --
12 actively had done field research for the commission and
13 informed our actions.

14 We developed a field verification process early on
15 in 1998, and started that voluntarily and then rolled it
16 out into the standard. So, that was an early action and we
17 focused on quality installation first as a compliance
18 option, and then as a standards requirement for newly
19 constructed buildings in 2001. And then started with duct
20 sealing for HVAC changeouts in 2005.

21 Next slide, please.

22 So, Assembly Bill 2021 in 2006 directed that the
23 Energy Commission develop a plan to improve the energy
24 efficiency and decrease the peak electricity demand of air
25 conditioners. And so, the Energy Commission brought

1 together a large working group of industry experts to help
2 think about the direction of the legislation.

3 And I just want to give you a flavor for who was
4 on that committee; people that are widely recognized as
5 being influential people within the industry were on that
6 group.

7 Just a couple few names here. Mike Messenger was
8 the lead from the Energy Commission. Mike Carson, Dave
9 Diaz, Eric Emblem, Susie Evans, Russ Geary, Kristen
10 Heinemeyer, Glen Hourahan, Scott Johnson, John Proctor,
11 Charles Segerstrom, and Bob Weisman were just a few of
12 those people. And I'm sure the industry members here
13 recognize those names as being important to their
14 interests.

15 So, that group viewed quality installation of HVAC
16 as a critical aspect to improving the energy efficiency and
17 reducing peak demand for air conditioners. And so, working
18 together, they came up with an estimate that the lack of
19 quality installation would increase peak demand by 20 to
20 30%.

21 They also together with their knowledge of the
22 market and the field concluded that only 10% of the
23 residential replacement installations of HVAC equipment
24 were being pulled. And they estimated at that time that
25 there were about 350,000 installations annually.

1 They also thought about okay, that's about
2 permits. So, what about the quality of the installations
3 industry-wide. And their conclusion was that about 15% of
4 all installations would meet the CEC quality installation
5 standards that had been developed up to that point. And
6 they also estimated that if we could change that 15% to
7 85%, then there would be an annual peak energy reduction of
8 130 megawatts each year.

9 And at the time, just to kind of compare that --
10 as a basis for comparison, that amount was at the time
11 equivalent to about 80% of the entire energy efficiency
12 portfolio of Southern California Edison.

13 Next slide.

14 So, as a result of that work, the plan that was
15 put together on that, there were quite a bit of actions
16 taken subsequently. Governor Schwarzenegger actually had
17 done an Executive Order in 2004 and directed the Energy
18 Commission to coordinate with CSLB on Building Standards
19 compliance issues. And so, we initially established an MOU
20 with David and team way back then to coordinate.

21 And there were actions like CSLB Stings, good
22 industry information. The Energy Commission tried to
23 assist CSLB related to complaint investigations. We
24 actually originally proposed to CSLB that we provide budget
25 to cover a staff person at CSLB to be sort of on ongoing

1 basis to look at energy issues but that didn't work out.

2 So, we ultimately hired a person from CSLB that
3 worked solely on this coordination for a few years trying
4 to move this along.

5 Also, the CPUC was an active partner with the
6 Energy Commission on the working group. And one of their
7 actions was to establish the Western HVAC Performance
8 Alliance, and the CPUC had done a strategic plan
9 themselves. And so, the Alliance worked on a more detailed
10 action plan at that point. And so, there was a very long
11 laundry list of things that were worked on for several
12 years by that Alliance.

13 Also, the Codes and Standards Programs from the
14 IOUs established the Compliance Improvement Advisory Group,
15 which was kind of a group of knowledgeable researchers and
16 industry actors. And they produced a lot of white papers
17 on what kinds of actions could happen.

18 The Energy Commission also during the ARRA time
19 period, in the funding of programs, strongly encouraged
20 permits and strongly encouraged a focus on improved
21 quality. Another thing that happened was that the Attorney
22 General's office became concerned that utility rebates were
23 potentially going to unpermitted projects and unlicensed
24 contractors.

25 And so, there was an interaction between the AG's

1 office and the IOUs that led to the need for owner
2 declarations, that the installation was done according to
3 permitting requirements and by a licensed contractor. So,
4 that was happening all through the time between 2005 and
5 2015 or so. And the PUC and their consultant DNV-GL did a
6 check back related to the 10% permit rate.

7 And they did a pretty deep dive on the data that
8 was available to look into that again. And they found at
9 that time that the rate was 7.9%. That was what their
10 finding was. And their estimation was that there were
11 about a million annual changeouts at that time.

12 So, that million number is about three times the
13 number that the original working group estimated. And so,
14 if the 135-megawatt loss was ballpark correct, then this
15 three times multiplier would get us over 400 megawatts
16 annually that potentially could be accomplished or avoided
17 if we had better installations.

18 So, there were a ton of really well-intended
19 actions that occurred in this time period. A lot of hands-
20 on-deck within the industry, but at least related to
21 permits, we didn't seem to move the needle on the problem,
22 and there still was a concern for lack of quality
23 installation.

24 So, as a result of that, there's an ongoing
25 challenge for the industry and for government or all

1 stakeholders to try to improve performance.

2 Next slide, please. Thank you.

3 So, also, the Legislature has been interested in
4 these problems and has given related direction. AB 350 was
5 this mammoth Clean Energy and Pollution Reduction Act aimed
6 at trying to identify ways that we could achieve climate
7 change goals.

8 And one of the call-outs in that legislation was
9 that the Energy Commission should work to ensure that
10 retrofits meet high-quality performance standards and
11 reduce energy savings lost due to poor quality workmanship.

12 The next year, SB 1414 passed, and that directed
13 the Energy Commission to approve a plan that would promote
14 compliance with Title 24 in the installation of central air
15 conditioning and heat pumps.

16 And a provision of that direction was that the
17 Energy Commission could adopt regulations to increase
18 compliance with permitting and inspection requirements.
19 And also, could have regulations associated with sales and
20 installations.

21 About the same time, the Legislature also passed
22 SB 1383, which was focused on reduction of short-lived
23 climate pollutants. And the urgency of getting control of
24 these pollutants that have high global warming potential
25 and focused in particularly on hydrofluorocarbon gases

1 being reduced by 40% by 2030.

2 And this has a touch point with the quality
3 installation area because a substantial part of the problem
4 related to refrigerants, occurs at point of change-out when
5 that refrigerant should be recaptured, and otherwise, it
6 escapes to the atmosphere.

7 And so, having good quality installation in
8 handling at that change-out point would give us also a
9 means to address this important legislative direction.

10 Next slide, please.

11 So, these problems have been important to address
12 and correct from an energy standpoint for a very long time,
13 but they also relate to the climate change imperative that
14 we now have. In 2018, Governor Brown released his
15 Executive Order B-55-18, that made a worldwide commitment
16 that California would achieve carbon neutrality no later
17 than 2045.

18 And as soon as Governor Newsom came in, he
19 immediately endorsed Governor Brown's action. And this has
20 been a conscious and major goal of state government all
21 along.

22 About a year ago, Governor Newsome had very strong
23 press release language that pointed out we're in a climate
24 crisis, and the impacts are happening radically faster than
25 had been anticipated, and made a call for fast-tracking of

1 all efforts to address the ultimate climate crisis that we
2 may face as well as trying to act on the immediate
3 consequences.

4 So, another kind of new factor here is that the
5 commissioner alluded to early on is that building
6 decarbonization to achieve these climate goals is going to
7 call for the use of heat pumps, energy efficient heat pumps
8 as a new technology for space heating systems.

9 And we're going to have to rapidly expand to do
10 that. And that's going to put a lot more air conditioner-
11 type equipment out there that if we continue to have
12 problems with installation quality with those heat pumps,
13 that puts us at risk for meeting our climate change goals.

14 So, not only are the quality installation problems
15 problematic from the energy losses, but also from the
16 refrigerant losses that I mentioned before. And both of
17 those compromise the GHG reductions that we need to have.

18 So, now's the time really to try to figure out how
19 we can do better related to these problems and make
20 critical changes. So, that's the background for today's
21 workshop.

22 So, related to panel number one, this panel is
23 focused on kind of revisiting as the commissioner alluded
24 to, some of the recommendations that came up in the SB 1414
25 workshops that were held leading up to COVID and revisiting

1 those, and kind of dusting those off and seeing which of
2 those remain and what new ideas are there, what evolution
3 has happened in that timeframe.

4 And so, we have a strong panel of key actors that
5 come from organizations that each have the potential to
6 influence the improvement of the quality of installation of
7 HVAC equipment.

8 So, let me give a brief introduction to Josh Dean
9 from the California Energy Alliance, and then Josh can make
10 his presentation.

11 Josh has served, I should say, as the Executive
12 Director with the California Energy Alliance since
13 September of 2020. And formerly was the Executive Director
14 for the San Diego Green Building Council, and he brings
15 over a decade of experience in the sustainability,
16 construction, and real estate industries. So, Josh.

17 MR. DEAN: Alright. Thank you, Bill. And thank
18 you to Commissioner McAllister and your staff and all the
19 Energy Commission staff supporting this workshop. We
20 really appreciate you having us today for this
21 conversation.

22 My name is Josh Dean. I'm the Executive Director
23 of the California Energy Alliance. I'm delighted to be
24 presenting on behalf of CEA and it's over 40 members
25 representing the energy industry.

1 We were a part of those discussions as
2 Commissioner McAllister and Bill mentioned back in 2018 to
3 2019 looking to improve the quality installation of HVAC
4 equipment. So, we're happy to be here today to be
5 discussing some updates and opportunities as a part of the
6 2021 IEPR report.

7 Next slide, please.

8 Just a quick introduction into the California
9 Energy Alliance for those who're not familiar with the
10 organization -- CEA is a leading advocacy organization for
11 California's energy stakeholders. Founded in 2016, CEA is a
12 nonprofit, nonpartisan alliance of business, government,
13 environmental, and NGO leaders advocating for energy
14 productivity to achieve economic growth, environmental
15 justice, energy security, affordability, and resilience.

16 CEA envisions a healthy and equitable built
17 environment that is powered by carbon-free, reliable energy
18 sources. And we work towards this vision by bringing
19 beneficial, equitable change to energy standards, policies,
20 and programs by developing consensus among diverse and
21 engaged stakeholders.

22 So, that's why we're excited to be here today
23 because much of our focus is on the evolution of codes,
24 standards, and policy, doing some of that research, and
25 then providing the education and outreach once that's done.

1 So, one of CEA's major initiatives is code
2 compliance improvement. We have a history of working with
3 the Energy Commission, Acceptance Test Certification
4 Providers, workforce training programs, and a number of
5 others on proposals to increase code compliance. So,
6 that's why we're happy to continue these discussions and
7 bring back some of those ideas and recommendations that
8 were discussed back in 2018, into 2019.

9 Next slide, please.

10 Speaking of those past discussions and previous
11 proposals and ideas around this approach to increase HVAC
12 compliance in California, the program compliance issues as
13 they've touched on and ways to improve those installations,
14 have been under discussion for a couple of decades now.

15 And then going back to those 2018, 2019 workshops
16 and discussions, there are potential solutions that were
17 discussed in order to address this question of permitting
18 compliance, and quality installs of the equipment. So,
19 some of those discussions that came out from a range of
20 stakeholders, included things like equipment registration,
21 tackling out-of-state equipment sales, installs by
22 unlicensed contractors.

23 The need to increase consumer awareness around the
24 need for permits and how proper HVAC equipment
25 installations can provide greater energy efficiency for the

1 homeowner; stronger enforcement options, workforce
2 education, and training, and then the need to reduce
3 permitting barriers, costs, and time. And a lot of that
4 will boil down to some of the online permitting that I'll
5 talk about here in a little bit.

6 CEA understands all of the positions and ideas
7 represented, including the one major sticking point and
8 kind of pushback on the equipment registration,
9 particularly with serial number tracking, because that
10 really provides or puts a lot of pressure on the
11 manufacturer side of things to create a whole new system to
12 really track what's going on from manufacturing to install.

13 Additionally, CEA does agree for the need for more
14 training for contractors and building officials, the need
15 for more enforcement, both from a state and local level,
16 and the need for homeowner education and the homeowners
17 should be held responsible for pulling these permits. And
18 also, that inspectors should keep their employments, the
19 continuing education should be required for licensed HVAC
20 contractors and a uniform statewide permitting system,
21 which would be very preferable to a lot of the local
22 jurisdictions.

23 So, the commissioner staff asked us to kind of
24 come back and rediscuss, and reintroduce some of these
25 ideas that CEA put forth based on our membership and our

1 stakeholder engagement, and we were happy to reconvene our
2 members and discuss some of this middle ground approach
3 that we had back then.

4 So, next slide please.

5 And since those previous discussions that we've
6 held on this particular topic, we now include much more
7 representation from the HVAC manufacturers, the workforce
8 education and training programs in this particular field,
9 and then even code compliance stakeholders.

10 So, CEA represents a wide spectrum of stakeholders
11 within the HVAC industry and hundreds of years of
12 experience by these folks. We really wanted to pull back
13 in and reconvene this group of folks to look at the code
14 compliance, improvement opportunities and pathways.

15 So, we're able to tap into the experience of our
16 members in order to develop consensus around the possible
17 solution or solutions to improve permit compliance and the
18 quality of installation of HVAC equipment.

19 Next slide, please.

20 So, I mentioned, we brought back together this
21 group just last week to really discuss the overall HVAC
22 manufacturing process, from distributing to installation
23 and permitting processes. We brought up past ideas that I
24 mentioned earlier for improving this overall process, and
25 highlighted some of the hurdles and concerns as well as

1 discuss some new opportunities.

2 The main focus of the group was to consider an
3 approach or approaches that take compliance from that 10%
4 range that's been discussed to even the 50 or 60% plus
5 range, knowing that reaching 90% compliance is going to be
6 quite difficult in such a short period of time. And that
7 there's no real silver bullet.

8 So, the group really kind of came together to
9 discuss everything from the serial number tracking type
10 programs and the concerns and cost that are associated with
11 it, to consumer and contractor education, as ways to
12 increase compliance. So, having the diverse stakeholder
13 group allowed us to hear multiple solutions and concerns to
14 a continued problem of low compliance.

15 And some of the additional concerns that came out
16 of that conversation and that are continued to be had are
17 data security when sharing equipment and consumer
18 information, proper education and training for the
19 contractors and installers, as we see heat pump
20 technologies becoming that baseline for replacement.

21 Cost for implementing new compliance programs,
22 such as what we'll kind of recommend, the need for a
23 uniform permitting platform, capabilities of the local
24 jurisdiction for enforced as permit requests are
25 increasing, and then much more.

1 But like I said, while there's no one solution
2 that'll help turn this around immediately, we did agree on
3 a multi-pronged approach that can be sort of the near-term
4 cost-effective solution to hopefully increase compliance,
5 and thus supporting the quality of installation for HVAC
6 equipment.

7 And in the bubble there, it really kind of
8 outlines a little bit of what the group came up with and
9 agreed on for that full stakeholder group that was a part
10 of the conversation. And so, that includes a uniformed
11 online permitting process. There's a number of examples
12 that came out one from the Center for Sustainable Energy
13 and their findings in a submission from January 30th, 2019.

14 And that was a 2016 study on a statewide online
15 permitting platform for residential HVAC alterations. So,
16 that's a really good format that they came up with. And
17 this system that we're looking at too, should integrate
18 with the existing HERS form registry, that's maintained by
19 the CEC and with all permitting systems in use today by
20 municipalities across California.

21 We know that this online permitting option would
22 help speed up the process, allow for those weekend installs
23 and reduce costs due to contractors not having to spend as
24 much time going down to the Building Permit Office and sort
25 of the back and forth.

1 One of the other items is the compliance
2 reconciliation system. So, back in 2018 and 19, the CEA
3 recommended this approach to an equipment registration
4 program. This system does require a statewide online
5 permitting platform to be in place to make it the most sort
6 of cost-effective. And what it really does is just track
7 the number of units sold by distributors to contractors,
8 and then reconciles that against permits pulled for those
9 particular contractors' licenses.

10 And so, just want to reiterate that this isn't a
11 serial tracking system. It really is ... there's no
12 equipment numbers being tracked or where it's installed.
13 It's really trying to reconcile those numbers of units sold
14 to license contractors, and then the number of permits
15 pulled and closed out.

16 So, the next point is also the key piece of
17 selling to licensed contractors so you can make that
18 reconciliation. And so, then that helps to be able to
19 reconcile the number of units purchased with HERS testing
20 documents, building permits that have been pulled and then
21 closed by the contractor. This helps present the
22 enforcement agencies with a narrowed target group of non-
23 compliant contractors, along with the clear evidence trail
24 to justify their selection.

25 And finally, still agree that there's a need for

1 consumer and contractor education. This is always critical
2 for increased education, and the more that the consumers
3 know what's required for a permit, the more they're going
4 to request that. But then also, kind of boiling it back to
5 the online permitting process that then would help
6 encourage contractors to follow through with that if that
7 particular pathway is simplified.

8 Next slide, please.

9 And so, finally, I just wanted to leave with a
10 couple next steps since we're reintroducing some of these
11 ideas and things have changed in the past couple of years -
12 - is that we should really reevaluate that faster uniform
13 online permitting process. What does that look like since
14 the pandemic has really pushed some of the jurisdictions
15 into online systems, enforcing that selling to licensed
16 contractors from the distributors, reconvening additional
17 stakeholders.

18 CEA does see the need to bring everyone back to
19 the table to hash out some of these solutions to include
20 the distributors, the HERS providers and raters, code
21 officials and contractors to discuss these ideas even
22 further.

23 Again, with the workforce education and training,
24 as I pointed out, our options at this point are to really
25 initiate some more studies to try to answer these questions

1 so that there is a need for further analysis of pilot
2 projects to answer things like the cost of implementing the
3 program, such as the impact on the building departments if
4 more permit requests are happening, and the increased
5 efficiency of installed HVAC equipment that could lead
6 towards statewide energy savings.

7 Next slide, please.

8 I just want to say thank you again. We think that
9 the great next step is pulling together a convening of all
10 the industry stakeholders on this topic and identifying a
11 pathway to research the cost hurdles, opportunities, and
12 quickest ways to implement a meaningful program that brings
13 increased efficiency of installed equipment, increased
14 permitting compliance, consumer satisfaction, and energy
15 demand savings.

16 On behalf of CEA, I just want to say thank you
17 again to the commissioners, your staff, and the Energy
18 Commission for having us on the workshop today. And I look
19 forward to the discussion. Thank you.

20 MR. PENNINGTON: So, thank you very much, Josh.
21 That was really good and very thorough. So, I appreciate
22 that very much.

23 Next speaker is Alex Ayers from the Heating Air
24 Conditioning and Refrigeration Distributors International
25 organization, they're known as HARDI.

1 Alex is the director there and he serves as
2 HARDI's primary lobbyist and policy expert working to
3 educate policymakers on the HVAC and refrigeration industry
4 and the wholesale distribution process.

5 MR. AYERS: Thank you, Bill. I also really want
6 to thank the commission for hosting this workshop. I think
7 it's great to have an opportunity to discuss a lot of the
8 issues that we've been really discussing for several years
9 and bring back to the table some of the most important
10 parts of that.

11 I really want to highlight today specifically what
12 we would consider the role of equipment distributors in
13 increasing quality installation. This is not to say that
14 there's not lots of other great ideas out there. I fully
15 agree with CEA on the need for a uniform online permitting
16 process, but I wanted to keep mine specific to what it is
17 that the role of distribution plays.

18 So, if I can go to the next slide, please.

19 So, really when we look at what HARDI does, our
20 job is to advocate on behalf of HVAC our wholesale
21 distributors. Our goal is to make sure that the way they
22 operate their business, they serve their partners and
23 employees, and they add value to the economy; they do that
24 by remaining the channel of choice for HVAC manufacturer
25 contractors.

1 And so, if we go to that next slide.

2 You can see what we mean by the channel. And
3 that's where HARDI distributors serve as essentially the
4 middleman of the industry. We buy from manufacturers not
5 only the equipment, but the additional supplies like
6 refrigerants, tools, ducting from various suppliers and
7 serve as a one-stop shop for the contractors to then
8 deliver products and install them for our consumers.

9 And so, by being that primary source of equipment
10 and supplies, we also serve as the knowledge base. We make
11 sure that contractors that come in get additional
12 information about specific equipment, make sure that it
13 meets all the requirements, whether it's an energy
14 efficiency requirement or the new refrigerants that are
15 coming up as a changeover in coming years, but then also
16 service warranties. And then also in many situations,
17 serve as a place for training to occur in a kind of
18 continuing education format.

19 So, if we move on to the next slide, please.

20 So, when I say that we're a source of information
21 for contractors, it's everything from selecting the correct
22 equipment based on the situation, whether it's a changeout,
23 knowing that maybe it's an older home that has smaller
24 ducts. So, you can't put an oversized unit in there and
25 end up just wasting the amount of energy that's put into

1 that unit, or making sure that there's the correct training
2 available to technicians, so they're properly installing
3 this equipment because not all equipment is identical. The
4 basics are there, but there are certain parts to every
5 piece of equipment that's slightly different from another
6 OEM and other manufacturers.

7 But then we also want to make sure that we're not
8 installing things that don't meet proper energy efficiency
9 requirements or refrigerant regulations, and this is going
10 to become more and more important over the next half
11 decade.

12 So, if we can look at the next slide, please.

13 So, for us, proper installation really comes down
14 to in a lot of ways, looking at warranties because
15 distributors are the source of the replacement parts or the
16 equipment that's under warranty. Well, yes, the cost gets
17 passed on to the manufacturer, it still takes inventory out
18 of our business and time to replace those parts as they
19 come and go.

20 So, having quality installation reduces the need
21 for warranty repairs. And then that way, we can also look
22 at ways we're making sure that the annual servicing of
23 equipment prevents unnecessary repairs that don't need to
24 happen because at the end of the day, the fewer warranty
25 repairs there are, the better off we are for distributors.

1 And the way we see this is needing more and more education
2 to the contractors to help reduce these warranties.

3 So, if we go to the next slide, please.

4 And this is where training comes in. So, our
5 members as HVAC distributors work with the OEMs to train
6 contractors on the specific equipment from those OEMs for
7 proper installation. And we know that not being properly
8 trained actually ends up leading to problems.

9 Just last week in conversations, with one of our
10 Councils, we had a distributor blatantly say, he said we've
11 had more than four different warranty calls from one
12 specific company, simply because that company didn't want
13 to take the time to go through the specific training for
14 that equipment.

15 And the owner of the company was very specific,
16 was like, "I don't want to take my techs out of the field
17 for four hours of online training" because that hurts his
18 bottom line. Because even though the warranty calls and
19 everything else, also hurt it in his mind, having them not
20 working was worse than doing the warranty calls.

21 And so, it's this type of lack of training that we
22 want to counteract. We want to make sure that this is not
23 something that's commonplace among contractors, that way,
24 when something is installed, it's installed right the first
25 time. And then there's those fewer warranties that end up

1 impacting distributors.

2 So, if we can head to the next slide as well.

3 I also want to point out that training is going to
4 become even more important in the next coming years. We
5 have a new minimum efficiency for residential air
6 conditioners and heat pumps coming in 2023. And so, while
7 the equivalent won't change much for this energy efficiency
8 change, not having quality installation loses the gains
9 that we're doing by having this new efficiency increase.

10 In California, you're looking at 15 SEER
11 residential air conditioners that if they're just not
12 properly installed, it's not any better than the current 14
13 SEER. So, that's going to be a major changes coming in
14 2023, where training would help with that. But even larger
15 than that is the upcoming refrigerant change looking at
16 2025 in California and likely nationwide. We just don't
17 have an EPA regulation on that one yet for residential AC.
18 And then in 2026 for VRF, so slightly different timeline
19 there.

20 But with A2L refrigerants coming, these are much
21 different refrigerants, as far as the safety parameters go.
22 They are considered low flammability. And so, we know that
23 servicing equipment that has refrigerants that have a low
24 flammability component to them, are going to be different
25 than how we operate today.

1 And so, EPA also was looking at doing regulations
2 on a contractor certification to make sure that they are
3 certified to operate with these new refrigerants, but we
4 just don't have those regulations yet. And so, that's
5 going to be very important in the training that's going to
6 be necessary prior to 2025 and then 2026 for VRF.

7 But then at the same time, as Bill mentioned, when
8 you take out old equipment, the refrigerant needs to go
9 somewhere. And the way it should work is that it's
10 recovered because recovery is going to become very
11 important in this transition. So, that that recovered
12 refrigerant goes to a reclaimer, gets essentially recycled
13 and re-enters the market without it leaking into the
14 atmosphere so that we can have a smooth transition without
15 shortages of refrigerants.

16 That's going to be a major issue if we are venting
17 too much HFCs into the atmosphere, which then also has the
18 GHG impacts that Bill was talking about earlier.

19 So, we can go to the next slide, please.

20 And so, one of the things that we want to look at
21 is what are the current requirements for training and
22 really at the federal and state level; it's initial
23 training that is required, but there's no additional
24 training as you progress in your career.

25 So, with the federal EPA 608 certification, it's a

1 one-time test. And what makes this one actually worse than
2 I would say at the state level, is that you only need one
3 technician certified on the company level in order for a
4 distributor to sell you refrigerant. Obviously, there was
5 the purpose of you know, you're going to have a runner.
6 The runner doesn't need to be certified. So therefore, the
7 company was what required the certification, but it wasn't
8 intended to be only one technician would have the
9 certification.

10 And so, we're looking at how will EPA update these
11 regulations and possibly make it stricter so that more
12 technicians are trained and certified in A2Ls, but then
13 also making sure that certified technicians are the ones
14 actually doing the changing of line sets or charging or
15 evacuating systems. We don't want untrained technicians
16 doing this improperly releasing of these HFC refrigerants
17 into the atmosphere.

18 And then you look at things in the California
19 system, the C20 license, while it has excellent training
20 requirements for that initial license, there's no
21 requirement for continuing education. So, you could have a
22 person that got their initial C20 over a decade ago, and
23 hasn't done any kind of continuing education to understand
24 how equipment has changed over that decade.

25 Even worse, is if you have someone that allows

1 their license to expire, and I don't mean just a few days
2 of expiration, but months or years of expiration, they
3 simply pay a late fee. They don't actually have to go in
4 and prove that they've kept up with the industry if say
5 they left the industry and decided to come back.

6 And so, it'd be great to see some changes in that
7 system so that we're making sure that contractors are aware
8 of how the industry is changing, how equipment is changing
9 especially with this transition to new refrigerants, so
10 that we're making sure that they're doing it safely, but
11 also doing it in a quality way.

12 And with that, I think that's my last slide. So,
13 can you go to the next one just in case?

14 Yep. So, with that, looking forward to the
15 discussion later on at the end of this panel.

16 MR. PENNINGTON: Thank you very much, Alex. It's
17 very interesting to get a better understanding of how the
18 distributors fit into the whole system and the potential
19 influence that you have.

20 So, the next speaker is Randy Young, representing
21 the Sheet Metal Workers Local 104. Randy has over 30 years
22 of experience in the HVAC sector, and has worked on
23 manufacturing all the way to servicing of HVAC systems.

24 He's currently involved in the Uniform Mechanical
25 Code Development process at IAPMO, and participates in the

1 PUC's Procurement Review Group for Investor-Owned
2 Utilities, and is assisting in the development and
3 implementation of training curricula for the HVAC sector.
4 Randy?

5 MR. YOUNG: Good morning. And thank you
6 Commissioner for putting on this workshop. I'm going to
7 try to make up a little bit of time today because I didn't
8 put together a slide deck because I think a lot of things
9 that we're talking about have already been addressed.

10 And on the actions to improve quality installation
11 of heating and air conditioning equipment, Local 104 feels
12 this is a very complex problem that has been kicked down
13 the road for a better lack of terms. And now, our energy
14 efficiency goals that are set for the state of California
15 are in jeopardy of not being met.

16 One of the leading factors will impact the HVAC
17 equipment and systems that are not installed, and will
18 continue to be uninstalled or installed without permits, as
19 long as we do not know where the units are going.

20 We've all heard the numbers from 8 to 10%
21 compliance in the residential sector and as high as 24% in
22 the commercial sector. What we don't know is if the
23 equipment and systems are operating as designed or what the
24 installations look like, but we can assume these systems
25 are installed not to code.

1 The system is broken and a faster response is now
2 needed to address the issue in order to achieve the state
3 goals set forth in SB 350 and SB 1414, for push for
4 decarbonization, and the other bills that were mentioned
5 earlier today.

6 Here are just a few actions the Local 104 feels
7 would help increase quality installations and increase
8 permit compliance. Because after all, we're really talking
9 about permit compliance. If you get permit compliance and
10 the project for being inspected, the quality of
11 installations is going to rise automatically.

12 So, a skilled, trained workforce definitely is a
13 piece of the puzzle. I don't feel it's a primary piece,
14 but again, it's a piece. The installers, the technicians,
15 the contractors should all be trained properly, and this
16 needs to be ongoing training as new technologies emerge,
17 such as the A2L refrigerants.

18 Permit compliance should be somehow tied to the
19 sale of equipment. If it's serial number tracking or
20 equipment registration, I'm not sure what it needs to be,
21 but somehow, we need to track that equipment so we know
22 where it goes, and we know that it was installed properly.

23 I feel we should -- the Local 104 feels we should
24 survey other states and jurisdictions to see what their
25 compliance rates are and mirror what others have done if we

1 find some better, above 50, 75, or even at a hundred
2 percent. Much like the City of Davis, I believe is about a
3 hundred percent and Denver is close to 75% compliance. So,
4 we should look at those areas and see what they're doing
5 and try to mirror that.

6 We feel inspector training should be standardized.
7 There should be required training for all inspectors
8 specific to the craft for the portion of the building that
9 they're inspecting. Currently, many building departments
10 are undercut and underfunded, and they have combo
11 inspectors. So, the combo inspector may be proficient in
12 electrical, but may not know anything about mechanical.

13 Therefore, you're sending somebody in to check on
14 a project to see if it's built up to code when they really
15 don't understand what they're looking at thoroughly.
16 There's no knock on them. It's just the way it is.

17 And Local 104 feels that there should be a
18 requirement for annual certifications for inspectors, such
19 as the mechanical inspectors for IAPMO. They have a
20 program where they can certify mechanical inspectors
21 relatively quickly and easily.

22 Inspector qualifications need to come up.
23 Currently, they are not disciplined in the trade they're
24 typically inspecting. I just talked a little bit about
25 that.

1 Continuity in the codes adopted and equal
2 enforcement in jurisdictions. Different jurisdictions
3 adopt different parts of the code, or they don't adopt the
4 entire code in its entirety. And therefore, you have
5 several different jurisdictions within the State of
6 California that are currently putting in projects,
7 products, duct work, heating and air conditioning equipment
8 to different standards.

9 And there needs to be some continuity there so
10 it's likewise throughout the state. As CEA mentioned, we
11 need to streamline the permit process, online options with
12 the designated specific area for HVAC unit changeouts, I
13 feel would be helpful. We need to pass legislation to
14 allow the Contractor State License Board to work
15 concurrently with the building divisions, building
16 departments to enforce the permit violation.

17 So, I think people get confused about what the
18 CSLB is and does. And I believe what they really do is
19 they look for unlicensed contractors as their main charge,
20 but if they could somehow work together with the other
21 agencies and develop a task group that could go after non-
22 permitted work, that would be very helpful in getting to
23 where we need to be.

24 Again, equipment registration is defined by the
25 CEA as a good baseline to start. In talking with many

1 manufacturers, they already track their equipment for
2 warranty issues and to track inventory. So, it really
3 shouldn't be that difficult to track this equipment.

4 If I can track a letter or a package that I
5 ordered from Amazon and I can track it and find out exactly
6 where it is, there's no reason why we shouldn't be able to
7 track units with some of that technology that's available
8 today.

9 And enforcement's a key piece. I think the juice
10 must be worth the squeeze. And I think that currently with
11 the system, the way it's set up, if you get caught doing an
12 HVAC changeout without a permit, I don't know what the fine
13 is. I don't know if it's worth doing it without pulling
14 your permit. I don't know what those issues are, but I
15 think that if we are able to enforce it, then the homeowner
16 and the contractor who does the work should both share a
17 little bit of that responsibility.

18 Because the contractor will tell the homeowner
19 that they can save 500 to a thousand dollars on a 12,000 to
20 \$20,000 system. And if you could save five to a thousand
21 dollars by not pulling your permit, most homeowners are
22 going to say, "Hey, you know what? I'll take that deal.
23 I'll take that chance." And that needs to stop.

24 The Local 104 firmly believes that all these
25 discussed items and others brought forward today are key to

1 moving the needle forward in achieving our desired results;
2 what order they're in, and what's most important, that can
3 be debated forever, but the choice needs to be made and
4 implemented soon.

5 And with that, I will end my time. And thank you
6 and looking forward to any questions later.

7 MR. PENNINGTON: Thank you very much, Randy. That
8 was really good. Thank you. I appreciate the information
9 from the sheet metal workers.

10 So, the next presenter here is Scott Blunk from
11 SMUD. Scott is the Strategic Planner for Energy Efficiency
12 and Electrification at SMUD. And also, is an Adjunct
13 Professor of Building Science at Consumnes River College, a
14 licensed general contractor and a real estate broker. So,
15 go ahead, Scott.

16 MR. BLUNK: Okay. Well, thank you all for having
17 me here, honored to be here as well, and really happy to
18 see the focus today on building permits. I think it's very
19 vital.

20 Next slide.

21 As it has been outlined, permitting today for HVAC
22 is somewhere around 10%. And I know today's focus on HVAC,
23 but water heating as well is kind of a critical issue at
24 this juncture and I would guess it's probably less than
25 even 10% and really needs to come up.

1 Yeah, permitting really for HVAC quality
2 installation, I think permitting is foundational.
3 Permitting is not necessarily going to make the highest
4 quality HVAC installations, but it's just the first step.
5 Everyone knows when someone checks your work, you do a
6 better job. And there's so many benefits to the customer.

7 You know, value of the property is maintained and
8 the neighborhoods are maintained. There's going to be
9 fewer derelict properties around. It's going to save money
10 and energy for the customer. And there's going to be
11 health and safety impacts that are just with permitted
12 work.

13 The contractor, it's really leveling the playing
14 field. When I was working as a contractor bidding against
15 other contractors who are not pulling permits and are not
16 doing what they're legally obliged to do, it just makes it
17 more challenging. So, everyone's racing to the bottom.
18 And one way to do that is to just cut out the cost of
19 permits.

20 I think it's going to reduce liability to the
21 contractors just having that quality check from ... or the
22 permit check to some level of quality check from ... the
23 building inspector. And I think it just increases the
24 legitimacy of the profession when everyone's pulling
25 permits.

1 And unpermitted work does cost utilities and all
2 incentive programs out there because most of them require a
3 permit to be pulled, which is counter to how things
4 typically run. And if a building permit costs 200 to \$400,
5 which may be a little low -- when that cost includes the
6 cost of the actual permit, the time it takes to pull that
7 permit, the time it takes to wait for an inspector, which
8 can sometimes be half a day or more ... 200 to \$400 is low.

9 But the counter, without pulling it for a minute
10 cost zero. And just in the last three years, our
11 electrification program because we require that permit,
12 it's cost SMUD at least \$1.1 million and our incentives are
13 being diverted kind of away from what the goal is, is to
14 electrify, it's being really spent on just pulling the
15 permit. And I think that's just SMUD. Statewide, it's
16 going to be a really large number.

17 Next slide.

18 And just from what we know and where we're going,
19 there are a lot of gas furnaces that need to be replaced.
20 The charts below just kind of show that transition, from
21 E3, have kind of when and how many of these are coming in.

22 And I think quality installations are even more
23 important for heat pumps to be able to maintain
24 satisfaction. And if we don't get the customers changed
25 out so they are satisfied with their heat pumps, it's just

1 going to slow the progress toward electrification. We
2 really want people to have heat pumps, but also be happy
3 with them, where they're properly heating and cooling their
4 homes. And they see the bill savings that they should be
5 seeing.

6 And I think yes, permit compliance is a step in
7 ensuring that the quality will be better than in
8 unpermitted work, I think in general.

9 Next slide.

10 And just the equipment registration program that
11 CEA put forth in previous comments and again, today, I
12 think is a step. It's not going to get us where we want to
13 go just with equipment registration program. But also, we
14 can do many things and see what works and or lots of little
15 things can help the situation. Anything can help. I don't
16 know what could hurt it at this point. So, let's start
17 trying things.

18 Like Randy Young said, we know where it's working.
19 We know the City of Davis has near 100% compliance. That's
20 phenomenal across the country. And at Boulder, he said
21 Denver, maybe it's Denver somewhere in Colorado, there's
22 near 75% compliance.

23 Let's get out there and study these jurisdictions.
24 There's probably more out there with good compliance.
25 Let's see what they're actually doing and how it works.

1 The City of Davis, I was a contractor there for a
2 while and every homeowner that I worked with out there,
3 they knew that the permits are required. They were over my
4 shoulder making sure, "Did you get that on the permit? Did
5 you get that on the permit?" Like it's just well-known.

6 And I know that program's been in existence since
7 something like 1976 and I'm sure it takes a little time,
8 but it can't take ... again, anything is going to help. The
9 City of Davis, just doing a little Google search and
10 talking to them, and just from my own experience working
11 there, this is a resale inspection program. So, when you
12 sell a residential ... they don't do commercial, they only do
13 residential.

14 But when you sell a home, you need this resale
15 inspection report done by an inspector, and they verify the
16 compliance of that building to codes in effect when the
17 home was built, and or when anything subsequent happened;
18 an addition or water heater changeout, or an HVAC
19 changeout.

20 It's a \$438 inspection fee that's good for 18
21 months. So, that long window of 18 months helps it not
22 slow down the sales process. And again, all the residents
23 know. So, it's not going to be a surprise when they're
24 selling their home.

25 It does create jobs for building inspectors and

1 officials. I think it's something like four FTEs is what
2 it takes to manage the Davis resale inspection program.
3 And it's cost-neutral to the city, especially when you
4 combine it with there's \$438 for that inspection, but
5 there's also everyone pulls permits and there's money on
6 all of those permits that are pulled. So, they felt it's
7 cost-neutral to their city.

8 Obviously, it creates jobs, cost neutral, and it's
9 just a peace of mind to the home buyer. If it's just, it's
10 part of living in Davis, it's part of living in society
11 there that ... and they know that again, at least at some
12 level, that what they paid for has been installed in a
13 quality manner.

14 And one of the things is when a customer decides
15 not to pull a permit, part of that is that I've heard this
16 contractor say, "Well, don't you trust me?" And when you're
17 about to spend 10 or \$20,000 for the contractor, of course,
18 you trust them. If you didn't trust them, you wouldn't be
19 paying them 10 or \$20,000.

20 So, it's an easy like, "Well, yeah, I mean, I'm
21 trusting you with \$20,000." So, I just think the peace of
22 mind from the home buyer, it reduces that decision for the
23 homeowner as well.

24 Next slide.

25 And then CSLB so happy to see you on the call.

1 And also, something Randy said, I believe CSLB right now,
2 is really not in charge of maintaining or verifying the
3 contractors pull permits. But I would like to see that
4 happen at some level. Again, I'd like to see CSLB working
5 with the contractors to maintain a level of profession with
6 all the contractors.

7 Maybe they lack the funding or the workforce to do
8 that, but that can be fixed. And I just think they're a
9 very important partner in improving permit compliance and
10 working with them to help create a solution.

11 And since I have the pulpit now, maybe not
12 directly related, but I think it would be great to see CSLB
13 expand the licensing ability of plumbers and HVAC
14 contractors; one, for plumbers installing heat pump water
15 heaters so that those plumbers can either do the electrical
16 work that's going to be required to pull a circuit for a
17 heat pump water heater, or at least they can subcontract
18 that out.

19 Right now, it's going to take either two separate
20 contracts, two separate contracts for an electrician and a
21 plumber, or a GC. So, I think that would really help our
22 transition. And then the other one, allow HVAC contractors
23 to also do installation and or air ceiling when they pull a
24 mechanical permit to do. And that's really getting to the
25 systems approach, which I think we're going to talk about

1 in the afternoon.

2 The systems approach is that an HVAC contractor
3 can come in and insulate and air seal. When they install
4 an HVAC, they can install a smaller HVAC that's going to
5 say, ultimately bundle all that together and that systems
6 approach, and it's going to save the customer money. And
7 it's going to make them more comfortable.

8 And with that, I'll wrap up my presentation and I
9 appreciate the time and happy to answer any questions.

10 MR. PENNINGTON: Thanks Scott. It's great to hear
11 the concerns and recommendations with an eye to reaching
12 our climate change goals and the important steps SMUD's
13 placing on that. So, it's really terrific to get that.

14 So, Brian, this is your point? Oh, hi
15 commissioner.

16 COMMISSIONER MCALLISTER: Hi, I'm back actually.
17 I caught the tail end and have perused the overall
18 presentation. So, sorry I did not get to listen to
19 everything.

20 Let's see ... so, we are a little bit behind
21 schedule. And I wanted to just really first, thank the
22 panelists for being on. And as a proud resident of Davis,
23 I have lived both sides of that transaction that Scott just
24 described and it works, it works. And Davis is super
25 responsible ... and I've been on both the purchasing and the

1 sell side of a transaction that has gotten this inspection.

2 So, I'm going to ask a question about models here.

3 I don't know about Boulder but I imagine they're sort of
4 similarly committed. One of the real advantages that a
5 city like the City of Davis has, is that it's a relatively
6 young community in terms of its building stock.

7 And so, the permitting or the city actually, the
8 building department has as-builts for almost every
9 structure in the city. And so, that's a baseline of
10 information that they've got that I think is probably
11 relatively uncommon where ... so the inspector, the
12 transaction, the guy who comes and inspects the building to
13 enable it to be sold has a huge amount of information, the
14 whole permit history and the drawings of that home.

15 And they go through and they determine, "Look,
16 this gas valve wasn't there, or this or that wasn't there.
17 Did you get a permit?" And they track down all these
18 details that are evident from the difference between the
19 actual situation and the as-built that they have.

20 And so, I guess, I'm wondering if our panelists
21 could sort of comment on informational limitations and how
22 we might sort of shore those up, and how other cities such
23 as large cities with super diverse housing stock that they
24 don't maybe know as much about, could do something along
25 those lines and improve sort of rigor and accountability,

1 whether it's around the retail transaction or some other
2 kind of hook to be able to apply the code more rigorously.

3 MR. BLUNK: I'll jump in here because I've done a
4 little thinking about it. The City of Davis didn't really
5 start with all the as-builts either. They had to be built
6 up over time.

7 So, how a program like this could start was you
8 set a date for compliance of, let's say, 2024. Really, no
9 as-builts are necessary. All the water heating and HVAC
10 have, at the very least, they have an ANSI date on them.
11 So, what ANSI standard they were built by, and that date
12 can be a few years younger than when it was installed, but
13 it's not going to be 20 years different.

14 So, if it starts in 2024, you can say the date
15 that the equipment was ... what standard it was built under.
16 So, you could say any equipment with the ANSI date prior to
17 2020 or something. You know then it's unpermitted. Or
18 there's a way to start with just with the dates that
19 already exist on the equipment.

20 I mean, if we could have a manufacturer date on
21 the equipment, that would be even better, that's closer to
22 the time. But I think that's an easy way to start. You
23 don't look at anything in a building that doesn't have a
24 date.

25 I don't know, additions or something ... like if you

1 don't know, you don't know, but in that first inspection,
2 you can set a baseline at the very least for the mechanical
3 equipment, which is really one of the big things we want to
4 do. We don't have to check for every light fixture.

5 COMMISSIONER MCALLISTER: Super helpful. Yeah,
6 thanks. And I well know the City of Davis and I don't know
7 ... I mean, I imagine some other jurisdictions do this, but
8 there's a time certain requirement to replace high flow
9 toilets with low flow toilets that has long passed.

10 You know, I think 2014 was the date that that was
11 beginning to be enforced, 2014 or 15. And if there's a
12 solar permit that's being closed, they check the toilets.
13 If there's any permit that's been closed, they check the
14 toilets. And so, I think that level of just rigor and kind
15 of best practices and process and procedures just being in
16 place and just being sort of a matter of course, is really
17 important.

18 So, anybody else wanted to chime in, on sort of
19 what sorts of initiatives cities could do to what Scott is
20 suggesting, which is basically build up that database over
21 time as equipment does get replaced?

22 MR. YOUNG: Commissioner McAllister, Randy Young.
23 I think that like Scott mentioned was a great idea, but I
24 also feel like since we have an M-ATT coming up, I and II,
25 I think that's also an avenue where you can start

1 implementing and start collecting some of those data,
2 especially on the newer houses.

3 The older houses are going to be difficult. Like
4 Scott said, you can look at the ANSI numbers and they could
5 change, or they could be the same, depending on what ...
6 because sometimes those ANSI numbers stay the same. They
7 just get updated and they have a different year attached to
8 them.

9 So, I think the mechanical acceptance testing,
10 there's an opportunity to start gathering this data, moving
11 forward. Capturing the old data is going to be very
12 difficult to do. You're going to have to take a point and
13 move forward.

14 COMMISSIONER MCALLISTER: So, totally a point
15 taken, I guess as a matter of just general credibility of
16 this sector, I mean, if you're going to buy a new car, you
17 search on a VIN and you find out the whole history of that
18 car, and that's nowhere nearly as valuable as a house. And
19 it can be sold across state lines and everything else.

20 So, like a house isn't going anywhere. And it
21 seems like we ought to be able to build a database of what
22 essentially is the most valuable sector of our economy if
23 you add it all up. I mean, trillions and trillions of
24 dollars of value there. It seems like that could be a
25 focus of public policy to kind of ... and then if you think

1 about where we're going with our carbon journey, that would
2 then sort of create a basis for targeting investment and
3 building this kind of broad database of energy performance
4 that it's a little touchy, maybe politically at some level.

5 But if we focus on the policy goals that we have
6 it seems like there ought to be some pathway there. And I
7 think we'll hear in the next panel that we have that there
8 are some electronic tools that are kind of enabling that
9 kind of data collection in a much more low-cost way.

10 I wanted to give David the chance to ask questions
11 as well. Because CSLB was mentioned a couple of times and
12 interested in your thoughts.

13 EXECUTIVE OFFICER FOGT: Yeah, thank you. I
14 learned a lot from the panel and I wanted to clarify a
15 couple things. So, one, it was mentioned we don't have
16 continuing education and that's correct, we don't.

17 I would say though that if the contract has
18 expired more than five years, would have to retake the
19 trade exam. Now, granted that doesn't really get us where
20 we want to be. We do have a proactive enforcement unit and
21 it was correctly stated that they do focus primarily on
22 license and workers' comp violations.

23 However, we do have strategic planning coming up
24 on September 22nd, and I noticed that Randy Young
25 represents Sheet Metal Workers Local 104. I think that's

1 where David Diaz came from. David Diaz was a fantastic
2 board member that we had for eight years. He's been
3 replaced by Michael Mark.

4 And so, I'm going to relay some of your ideas to
5 Michael and ask if he would like to champion these at the
6 strategic planning session, because one idea that came out
7 is look at what Davis is doing; very successful in getting
8 the buy-in, it sounds like, from the community and the
9 building department. And that's really something that we
10 need to try to do more on a statewide level.

11 I'm active with the California building officials.
12 And as some of you probably know, some of them are
13 motivated to work with us and identify unpermitted
14 projects, others aren't. And that's really something that
15 we need to work on. We need to strengthen that
16 relationship and I would be willing to dedicate staff to be
17 dedicated to working with all of you, but work with
18 building departments to take action against the violators
19 and to educate them.

20 That's something else that I've thought about, is
21 having an Ambassador program. We have our C20 contractors
22 going out and they're trying to get work, they're bidding
23 jobs; why not educate the consumer at the point of sale as
24 to the benefit of getting the permit and doing it right.

25 Recently, I had an HVAC system installed and I got

1 three bids. Two of the bidders wanted to do without a
2 permit. So, they saved money. And I was so glad we used
3 the one that wanted to get the permit, so they save money.
4 I was so glad they used the one that wanted to get the
5 permit because if I hadn't done that, I probably wouldn't
6 have had my duct work replaced. I would have had leakage
7 in my attic; my bills would be much higher.

8 Consumers need to understand that, but it's a
9 question for the panel; what can we do to further
10 strengthen our relationships with building departments to
11 really get them on board, to be a partner, to work with us?
12 Again, we can go out and do inspections and we get a lead
13 from a HVAC contractor who bid a job and didn't get it,
14 suspects the person that did didn't get a permit, we should
15 go out and inspect that. And the building department and
16 CSLB should take an action.

17 So, any thoughts about how we can work with the
18 building departments, maybe a coordinated approach? They
19 have quarterly meetings and I attend a lot of those, and
20 it'd be helpful if somebody from CEC if would did a
21 presentation together and maybe really show how the
22 community's benefited in Davis and why that can work
23 elsewhere.

24 MR. DEAN: This is Josh. I might --- would just
25 add that -- and I think Alex May have mentioned in his

1 presentation -- that some of the contractors maybe aren't
2 willing to share or send someone out for four hours because
3 they find it's easier to just go and do the other work.

4 I think finding maybe the funding for the
5 inspectors and for the building departments to be able to
6 beef up the staff a little bit and to spend that time for
7 the continuing education would really be beneficial.

8 MR. YOUNG: This is Randy. If I can add on to Mr.
9 Fogts' comments. Yes, I actually replaced Dave here at the
10 local level and Michael Mark's replacing him at the CSLB,
11 so I know Mark as well.

12 But to answer your question, during my
13 presentation, I didn't do a slide presentation, but I do
14 feel ... I don't know if legislation has to be passed to
15 allow you and the building departments, the authority to
16 work together closely. But I think whatever that mechanism
17 is, that has to take place, needs to take place.

18 So, you guys can communicate because I know a lot
19 of departments or different entities are forbidden from
20 communicating with each other on certain aspects because of
21 the Brown Act or whatever it may be. But there needs to be
22 some continuity between the CSLB and the building
23 departments across the state; how that takes place. I
24 don't know, but something has to give.

25 MR. BLUNK: I agree. From my friends who are

1 building inspectors, one is a head building inspector,
2 their comment is when they do try to work with the CSLB,
3 the process is onerous on them and it sounded to me like
4 they wanted to let you know and then be done with it.

5 And instead of like a constant back and forth and
6 working together, they just have a lot on their plates.
7 So, if we can streamline that a little bit, it may help
8 them to report unlicensed work.

9 EXECUTIVE OFFICER FOGT: You're absolutely
10 correct. That's the complaint I've heard is that if they
11 make the referral, then we would generally want to issue a
12 citation with a civil penalty. What that does though, is
13 it affords the person that's cited the right to appeal it
14 in front of an administrative law judge. And if that
15 happens, then often the Attorney General's Office wants to
16 bring in the building inspector and the building inspector,
17 they don't want to do that.

18 That's why we now have what we call a letter of
19 admonishment, though. We don't have to have that, that
20 testimony. We can do it all internally. It doesn't have a
21 civil penalty, but it does have disclosure on the license
22 for one year. It requires that they take our training
23 course.

24 So, we think that can overcome some of the
25 concerns that building departments have. So, what we need

1 to do as a contractors board though is to make sure the
2 building officials are all aware of this and the benefit to
3 them. And I think that would encourage them to make more
4 referrals. And we're here to work with you and do ... we
5 hired someone that's doing videos now about ... again, we
6 have a permit compliance, so we can segue that into HVAC
7 compliance.

8 So, we can put that on our website, we have an
9 email address as far as C20 licensees, we can educate them
10 too. That way, we can help to step up the compliance.

11 MR. AYERS: One of the things that you were just
12 talking about was the ways to get the building inspectors
13 more involved. And I think one of the folks mentioned when
14 you're talking about utility rebates and the need for a
15 proper inspection, maybe it needs to be working with the
16 utilities and how those rebates work that maybe some of
17 that funding can also end up being shared with the
18 inspector because they're doing the inspection or just the
19 inspection fees as well. It helps them beef up their
20 ability to do these inspections by hiring more staff.

21 I know that's been mentioned, is the need for more
22 staff or need for staff that are properly trained in what
23 they're inspecting?

24 EXECUTIVE OFFICER FOGT: Absolutely. If we were
25 to pursue legislation, one idea might be that when we do

1 issue the fine, that a part of the fine collected goes back
2 to the jurisdiction. So, that would cover the cost of
3 sending their inspector to our hearing. You know, ideally,
4 we could probably issue a fine up to \$5,000. So, that
5 would be the max right now if legislation approves that.
6 But a fine of \$5,000 might have an impact.

7 MR. BLUNK: It would also be really wonderful how
8 it's reported doesn't have to come from your neighbor or
9 another contractor. Like nobody likes to tell on their
10 neighbor. Like we need some other way to catch them other
11 than your neighbor ratting you out.

12 EXECUTIVE OFFICER FOGT: Well, what we will do
13 though, is we do allow for the informant to remain
14 confidential. So, if it's a neighbor or it's a contractor
15 that didn't get the job, they can be confidential. But it
16 might require that we would have to go out and either catch
17 them in the act or gain the cooperation of the property
18 owner to tell us that yes, they hired a contractor to
19 install it.

20 Many of these homeowners were complicit in the
21 unpermitted work, so they're not always as cooperative as
22 they could be. But I think what we could do is look at
23 maybe some different jurisdictions to start in and see if
24 we can have some success.

25 We could dedicate staff to the project. So, let's

1 say that we decided to use Sacramento. Well, we could
2 assign an investigator to work with the city and county
3 building departments and all of you, and let the industry
4 know in Sacramento that if they did lose a job, we're
5 willing to go out and proactively or broadly investigate
6 that without having to wait for a complaint.

7 COMMISSIONER MCALLISTER: Yeah. I wanted to ...
8 sorry, go ahead. I want to move us along a little bit, but
9 go ahead.

10 MR. YOUNG: When you're talking about sending a
11 crew out to go investigate an HVAC unit changeout for non-
12 permit, time is of the essence. Coming from this industry,
13 I could pull a unit and put a new one in less than two
14 hours. So, time is of the essence. If you're just doing a
15 quick unit changeout, you could have it on the roof and
16 nobody knows that you were there with the exception of the
17 client. So, time is of the essence.

18 MR. DEAN: I was just going to quickly add that I
19 think too that that's where we see that equipment tracking
20 program or something along those lines, understand how many
21 units are being sold to licensed contractors. Can you then
22 reconcile that with the permits that are pulled, and that
23 at least should narrow down some of what you're proposed
24 plan is going to be.

25 COMMISSIONER MCALLISTER: Yeah, thanks for making

1 that point. I was going to ask exactly that. What's the ...
2 I think we need to work -- maybe I'll just make a
3 statement.

4 I think we need to work to figure out what is the
5 good enough ... not maybe create the perfect. Not let the
6 perfect be the enemy of the good in terms of keeping track
7 of the marketplace, creating some sunshine, and therefore,
8 some accountability, but without sort of maybe the full
9 monty of individual level tracking by serial number all the
10 way to the end user.

11 But I think there's a lot we can do sort of in
12 that middle ground to help surface data that helps
13 understand the marketplace and sort of begins to identify
14 the sticking points and to therefore, resolve them.

15 I mean, I think we probably all have had similar
16 experiences to let's see ... who was it who had to changeout?
17 Oh, it was David where you get multiple bids and some would
18 say, "Well, I can do it with, or without a contract it's up
19 to you, it'll be the same installation your way."

20 And it's just kind of, we need to sort of up our
21 game a little bit statewide in that regard. And I want to
22 get to some questions here. There's Q&A, and Bill, could
23 you moderate that? There's a couple of questions there that
24 are, I think, quite incisive along these lines.

25 Three people have asked questions in the Q&A, so

1 we can sort of work through those quickly before we move on
2 to the next panel. That'd be terrific.

3 MR. PENNINGTON: Okay. So, the first question was
4 from Kiki Velez. So, the question for SMUD.

5 My understanding is that SMUD customers who
6 qualify for electrification incentives can install new
7 appliances with a SMUD recommended contractor. If that is
8 the case, has that increased permit compliance in SMUD
9 territory? Yeah, I'll stop there.

10 MR. BLUNK: Yeah, it has because essentially,
11 we're paying for the permit to be pulled. One key thing,
12 we feel permit compliance in our territory is probably
13 closer to 25%, but of course, we're paying \$3,000 incentive
14 on the HVAC equipment; 2 to probably 4, or \$500 of that
15 goes toward the permit. So yeah, it has but it's at quite
16 a cost.

17 And the other thing when you talk about pulling
18 permits or permit compliance, but oftentimes, even for our
19 jobs, we require a permit, but we don't know that the
20 permit has ever been closed and or inspected because that
21 can often happen much later. So, that's also an issue of
22 closing permits.

23 MR. PENNINGTON: Okay. The next question is from
24 Pierre Delforge from NRDC. And Pierre, you asked a second
25 question here. So, are we going to have time to cover all

1 the questions Commissioner, or should we be ...?

2 COMMISSIONER MCALLISTER: Let's plow through the
3 questions. I want to just make sure ... because I don't want
4 to assume that our panelists here are going to be able to
5 stay throughout the very end. So yeah, let's go ahead and
6 knock them out.

7 MR. PENNINGTON: The City of Davis point of sale
8 enforcement is perhaps the closest thing we have to a
9 silver bullet with upwards of 90% compliance. While it's
10 the responsibility of local governments to implement such a
11 policy, and none have so far followed Davis's lead -- what
12 can the state do to help cities exercise this leadership
13 opportunity by adopting the Davis model of point of sale
14 enforcements?

15 COMMISSIONER MCALLISTER: I think we've kind of
16 covered that actually a little bit. If anybody has
17 anything to add, maybe we can also move on to Aanchal,
18 instead of Pierre's second question.

19 MR. PENNINGTON: Yeah. So, I'm Aanchal Kohli from
20 CARB; it makes sense that improving permit compliance could
21 improve the quality of installations, but is there any data
22 that demonstrates the extent to which high permit
23 compliance is linked to high-quality installations? So,
24 Randy, did you say you wanted to reply to this?

25 MR. YOUNG: Well, I could reply to it. I did find

1 some data in the last week or so online that did correlate
2 with permit compliance and quality install. So, yeah, I
3 would say yes, there is data available. I could probably
4 google it and send it to control if they wish.

5 MR. PENNINGTON: Yeah. Thank you, Randy. So,
6 Aanchal, hi.

7 So, there's been one study that the PUC did back
8 in 2018, it's the same time that they were evaluating the
9 permit pulling extent. They did some field work to look at
10 installs. And in their studies, they found that the level
11 of performance was not good for both projects that were
12 pulled under a permit and not pulled under a permit.

13 One thing about that study, however, that's kind
14 of problematic. First off, they had very small sample
15 sizes, like a few homes per climate zone kind of thing.
16 And the other issue was that their selection process, that
17 was a self-selection process for participating in the
18 sample. And one source of people they contacted were
19 participants in their incentives programs related to
20 quality installations.

21 And probably, they didn't get a lot of responses
22 to take the survey from contractors that are sort of
23 purposefully cutting corners on the job. And so, that
24 could lead to kind of incomplete conclusions about what's
25 the difference.

1 COMMISSIONER MCALLISTER: It's a great question.
2 And I think there are lots of reasons that a permit is
3 supposed to be pulled; for health and safety and just for
4 it is the law and everybody's supposed to do it. And so,
5 that assumption does make sense as Aanchal says, but it'd
6 be good to ... one of our activities is really understanding
7 this marketplace and as we gather more data, it'll help us
8 target programs to get the most kind of energy savings bank
9 or a bank as well.

10 And certainly, the duct work and that sort of
11 maintenance is something that ought to happen regardless
12 for a number of reasons. But in any case, what's the last
13 question from Pierre, it looks like it's for Director Fogt.

14 EXECUTIVE OFFICER FOGT: Yeah. There's a statute
15 that permits a contractor to perform work outside their
16 classification if it's considered supplemental incidental
17 to the trade. So, I jotted down two issues here.

18 One is what's written down in the Q&A, and that is
19 burying the air ducts in insulation. I would think that
20 would be incidental to performing the work. And the other
21 one was the C36 contractor needing to hook up to the
22 electrical circuit.

23 And again, I think that would be considered
24 incidental. Upgrading an electrical panel would not, it
25 would require a C2 electrical contractor. But what I'd

1 like to do though, is we have a full-time classification
2 deputy. I'm going to run both of these questions by that
3 classification deputy and I'll report back. And if I could
4 maybe have him write something up that could be shared with
5 all of you, I think that would be ideal. I just want to
6 make sure I give you the true correct answer.

7 COMMISSIONER MCALLISTER: That'd be fabulous.
8 Fabulous. Well, great. Well, thank you all four of you,
9 and Bill for being on the panel. This was fabulous. The
10 part that I was able to be present for was terrific, and
11 I'm sure the rest too.

12 And Josh and Alex and Scott and Randy, thanks a
13 lot for your expertise. You guys know so much, it's really
14 great to have you helping us build the record and determine
15 the path forward. So, I really appreciate that.

16 So, let's move on to panel number two. Heather,
17 if you don't mind, I'll just go ahead and introduce. So,
18 Fritz Foo will moderate this panel. Fritz is an advisor in
19 my office and this will be Approaches That Facilitate
20 Quality Installation of Heat Pumps and HVAC Equipment.

21 So, we'll see some interesting technology that can
22 help us improve the sort of the quality of installation
23 obviously, and do that with sort of using modern tools to
24 take advantage of the digital economy and hopefully we can
25 leverage some of these to do a better job broadly. So,

1 Fritz take it away.

2 MR. FOO: Thanks Commissioner. And good morning,
3 still to all of our attendees here today. The second panel
4 really is focused on either novel approaches or new ways
5 that are currently being implemented, really looking to
6 change the landscape of permitting.

7 I know in the first panel, there were a lot of
8 suggestions, things like online permitting, breaking down
9 some of the barriers that currently exist to make it more
10 streamlined, even just having better relationships between
11 the permitters and the inspectors. And so, again, the
12 second panel provides some case studies looking at again,
13 what's going on in the field now addressing this.

14 So, I'm going to first introduce Mike McFarland
15 from Energy Docs Home Performance. Mike is a state
16 licensed general contractor for the last 24 years, and he's
17 owned and operated multiple companies specializing in
18 residential construction, deep energy retrofits, and
19 designing building high-performance, zero energy home.

20 His work also includes Central Valley Research
21 Project homes in addition to other laboratories and
22 training projects. And for this one, Mike is going to
23 captain the slide presentation. So, I'll invite you to
24 share your screen and proceed. Thanks.

25 MR. MACFARLAND: Great Fritz. You seeing that?

1 MR. FOO: Yeah, sure.

2 MR. MACFARLAND: Wonderful, thank you. Thank you
3 Fritz, and good morning, everyone. You know, besides
4 really enjoying my day job, I've had a lifelong love of
5 aviation ever since my grandfather introduced me to
6 building airplanes at a very young age.

7 Aviation for very good reason is highly regulated,
8 but back in 1982, an interesting thing happened and no, I'm
9 not talking about when Lawnchair Larry soared to over
10 16,000 feet above Long Beach in a Lawnchair tied to helium-
11 filled balloons, although that was awesome and
12 inspirational.

13 Despite Larry's stunt later that year, the FAA
14 recognized that two very different types of aircraft,
15 conventional and ultra-light, could co-exist and operate
16 safely together. They pulled in the industry and the
17 stakeholders for their rulemaking, and they created a
18 pathway that exempted a class of aircraft from regulation
19 that could be assured by performance to meet their safety
20 minimums.

21 So, still today, ultralight aircraft can be flown
22 with no registration or license requirements. So, I'm
23 proposing today that we do the same in HVAC retrofits, that
24 we reduce the registration and inspection burden when
25 technology and or measured performance can take the place

1 of that.

2 I'm proposing today that we'll give more value to
3 the permit process and make it much easier for contractors
4 to be able to complete. I'm proposing today that the
5 Energy Commission ask manufacturers to reward only legal
6 installations with warranty protection.

7 Early on, I want to make it very clear that I
8 don't own any horse in this race. My work these days is
9 entirely as an energy efficiency consultant and a provider
10 of laboratory and field research support.

11 So, the first and by far the most important one to
12 me is a recommendation to create this measured performance
13 pathway that circumvents regulation. Over the past decade,
14 a group of home performance practitioners and trainers here
15 in California have been discussing and implementing the
16 metrics that separate high-performance work from industry
17 standard work. And we call this Certified High-Performance
18 HVAC Metrics.

19 Following this path, utilities are asked to
20 support this high-performance program through a statewide
21 or regional implementer, which would track participation,
22 quality, and results. A program rebate would help offset
23 the process and the time to commission, to measure, verify
24 performance, which would return dividends to the rate-
25 payers in the form of peak energy savings.

1 Because the installers themselves have to self-
2 test and certify their results, they finally get a
3 performance feedback which is critical to their becoming
4 expert installers. The customers win by not having to pay
5 for industry minimum third-party testing that may not
6 actually improve installed performance.

7 Instead, their money goes directly into
8 commissioning and ensuring an excellent result. So, here's
9 a summary list of the high-performance metrics. Just like
10 in aviation, there are two classes in HVAC -- there's the
11 conventional and the high-performance.

12 When we clearly limit the societal risk, in HVAC,
13 the risk from a grid standpoint, at least, is oversizing.
14 Clearly, we can't allow huge air conditioners to be grid
15 connected without some kind of inspection like HERS to
16 limit waste.

17 In contrast here, though, we're limiting the
18 maximum size of the air conditioner and furnace right from
19 the start, and then ensuring that this right-sized system
20 operates exceptionally well in that home through extensive
21 test and balance.

22 It's interesting to note that the way the FAA
23 created their zero-regulation pathway was to change how
24 they refer to them from aircraft to vehicles. So, by
25 calling them ultralight vehicles and clearly defining their

1 operating characteristics, they created this exemption
2 pathway around aircraft regulation. So, that's the
3 example, I propose we follow by classifying conventional
4 versus high-performance HVAC.

5 The former is strictly regulated. The latter
6 becomes the realm of experts that don't need to be
7 continually tripped by the low and broken performance bar
8 of third-party verifications.

9 But how does all that information come together in
10 like a useful system? The lead HVAC technician measures the
11 actual performance at the return and supply inlets and
12 outlets, and then enters their results into a two-page
13 spreadsheet, which is shown here. And that helps them
14 compare the measure performance to the manufacturer's rated
15 values.

16 If they can install the system to deliver most of
17 the available performance into the home, meeting the
18 minimum basics of rated efficiency, the sizing limitations
19 and the extreme air tightness for the duct work, then the
20 lead installer certifies the installation complies, and
21 they submit the design and performance documentation as
22 proof at their final inspection.

23 Utility programs would then verify a sample of
24 these projects, and they ensure the results are accurate
25 and the rebate amounts are appropriate. Participating

1 companies achieve this market differentiation through their
2 directory listing as a participating contractor in the
3 program.

4 Installers gain this incredible skill and
5 knowledge of the measured results of their decisions. And
6 they learn in very short time, how to make really good
7 decisions over very bad ones by using measured data. I
8 also would propose that there should be other ways
9 including technology to create an alternate pathway around
10 regulation.

11 One example is the fault indicator display device
12 detection and notification pathway. Language in current
13 use in the Energy Code under fault indicator display, the
14 placeholder that's there for the residential systems, it
15 should alter the requirement of requiring a display to
16 instead a notification since our very way of life has
17 changed since this category was created many years ago.

18 Today, it turns out the most likely notification
19 you're going to see instantly is one that pops up on your
20 phone, your watch, your computer screen, and certainly not
21 something that's hanging on the wall over somewhere
22 randomly next to your thermostat.

23 A compliance pathway example might be that any
24 fault indicating device that simultaneously alerts the
25 equipment owner and the occupant for a minimum one year

1 from installation, would qualify as exempt from all third-
2 party verifications for that system. In the past, I did do
3 some consulting work for a startup developing an FID. And
4 I want to mention again, that in no way, do I have any
5 current or financial interest in this technology or realm.

6 But I do want to stress that if we can get
7 manufacturers incorporating this technology into their heat
8 pumps, the brains of their systems, and if this information
9 stream can begin leaving California installations, we will
10 have fundamentally transformed the industry in a very
11 beneficial way.

12 So, with over half my slides gone in the lion
13 share of time, we better get onto number two, which is
14 applied technology.

15 There was a news article in 2015 about my city
16 embracing smartphone technology to get projects signed off
17 the same day. Since then, we have jurisdictions that are
18 using FaceTime, Skype, and other great types of video
19 conferencing to safely and efficiently inspect work from
20 remote locations.

21 Other ways to improve this process, to bring more
22 into the fold are to standardize the ease and automation of
23 online permits between communities. And this has been
24 talked about already this morning.

25 Any contractor shouldn't have to figure out 20

1 different systems and the processes of 20 different
2 communities that they serve in order to navigate the permit
3 process. Standardization at a single source would be a
4 huge positive step in the right direction.

5 But keep in mind that technology is capable of
6 many things, but it's only as good as the willingness of
7 the department to commit to those new processes. In other
8 words, if the inspector isn't allowing the fundamental time
9 to promote, or if he's not promoting these new methods, he
10 or she, what good can it do for the contractor?

11 So, this fundamental paradigm shift has to occur
12 for any hope of creating a positive experience that will
13 encourage future compliance. Inspectors need to adopt the
14 attitude of coming alongside the industry, the workforce as
15 a teammate to get the job done as efficiently as possible.

16 Site visits, then become either a time to verify
17 completion or create a pathway towards same day completion
18 for the many common retrofit and home upgrade items. This
19 must start with an attitude from the top of the department,
20 that that department exists to serve the construction
21 community and a shared goal of ensuring the very most
22 efficient processes and positive outcome to happen for all.

23 So, what is your inspector saying? Just like on
24 the slide here -- are they, are they saying things like,
25 "Hey text me a picture of that smoke detector by 4:00 PM,

1 and we'll get this thing taken care of for you." Besides
2 tracking their same day completion percentage, that is how
3 you're going to know if this attitude exists in that
4 building department.

5 And if my AA batteries and insoles from Amazon are
6 important enough for a package tracker, how much more
7 important would one be for an inspector when hundreds of
8 dollars in labor on the line every day for a company that's
9 just trying to manage field inspections. Contractors can
10 afford to put a person that's capable of making immediate
11 corrections on that site if the period is scheduled within
12 about an hour of time accuracy.

13 The result is a more successful inspection
14 completion percentage and the contractor that's more
15 willing to continue to pull permits. So, having systems
16 like this would alleviate the fear that if today's
17 inspection isn't perfect, at least, hey, it's not going to
18 be a whole another day of misery and hemorrhaging cash for
19 the contractor.

20 And lastly, this one came to me when the maker of
21 our travel trailer recently issued a recall of its propane
22 regulator. We put in a new one, we send in the receipt,
23 and just thought we'd get a reimbursement, but it turns out
24 they won't replace it without a certified test being done
25 called a drop test to ensure that the installation was

1 performed safely and to meet minimum standards.

2 And this is exactly how HVAC manufacturers should
3 approach all of their warranties: "Sorry, we can't support
4 your installation until we know it was verified to meet
5 minimum safety standards."

6 I never suggest this in some cities in California,
7 where currently it takes three months to move through all
8 the necessary departments and they get a permit just to
9 replace simple equipment in a backyard. This only works if
10 you change the permit process to one that could be
11 completed in a day.

12 Since I'm out of time, I'm going to leave this one
13 queued up in case we want to discuss it later in the
14 question-and-answer period.

15 So, put concisely my contractor perspective to
16 improve installation quality and code compliance, is to
17 work with manufacturers, building departments, and the rule
18 book to reduce regulation, apply technology, change
19 attitudes, and reward those that measure and ensure
20 performance with an alternate compliance pathway.

21 Thank you very much,

22 MR. FOO: Thank you so much for those comments,
23 Mike, and appreciate you teeing up really very nicely our
24 next panelist, and also touching on some themes.

25 So, next I'd like to introduce Bob Wiseman. As

1 our first moderator Bill Pennington had mentioned, Bob is a
2 juggernaut in this field, and we're very, very pleased to
3 have him here today to provide some feedback on what the
4 current landscape looks like, but also to discuss Visual
5 Service, which is a new remote inspection tool that they
6 have been working on.

7 So, Bob, I will invite you to turn on your video.

8 MR. WISEMAN: I am here. Thank you Fritz. And
9 thank you so much to the commission for having me here.
10 Yes, IHACI has been involved with this process for many
11 years. We're certainly not new to it, far from it, and
12 we're happy to be here.

13 So many great things have been talked about;
14 uniform, statewide permitting systems, distributors selling
15 only to licensed contractors. You know, these are things
16 that IHACI has long supported and we continue training
17 education of the workforce, some type of an equipment
18 registration process, I think is very, very helpful.

19 And as I think you'll see in a few minutes, video
20 inspections are something that we are very keen on as well.
21 So, you know, with that, I want to go to the next slide
22 here, and I want to introduce Visual Service.

23 You know, several years ago, the Board of
24 Directors for IHACI, the Institute of Heating and Air
25 Conditioning Industries saw this gap in the market and said

1 there's a problem. And we as contractors have the ability
2 to really make a difference here.

3 So, Visual Service was created by contractors for
4 contractors, that was the intention. We have a diverse
5 team from around the industry that has put a lot of time
6 into this, as well as the IHACI board who serves as
7 advisors for this process.

8 So, next slide, please.

9 I'll get into what we're talking about. I'm not
10 going to go through all the problems in a lot of detail
11 because I am limited in time, but I think we know a lot of
12 these problems.

13 It takes three to five years for a technician to
14 become a real asset to a contractor. It takes time. They,
15 work, they train, but for them to be really productive and
16 a money maker, it takes time. Contractors report that
17 finding trained and qualified technicians, it's a number
18 one problem, meeting demand and growing their business.

19 Manufacturers, it's already been stated, improper
20 installation remains the number one cause of equipment
21 failure. Visual Service was designed by contractors for
22 contractors. It also includes service. So, this is not
23 only for quality installation. It also looks at service.

24 But as we were creating this product, it became
25 very clear that there's a very clear correlation between

1 contractor's needs and some of the things that we're
2 talking about today. Energy efficiency, compliance with
3 energy codes, and climate goals are very elusive and
4 challenging. And we have some solutions to be able to help
5 with that.

6 For consumers, they don't trust us. They lack
7 trust in contractors. There is a credibility issue that
8 grows by the day, and that just personally just breaks my
9 heart, but it's true. The most information that most
10 consumers get about their system is billing information.
11 That's it.

12 Next slide, please.

13 I'd like to introduce you to Visual Service. It's
14 a live video enabled diagnostics and monitoring technology
15 for the HVAC industry. What we do is we take Bluetooth
16 enabled tools -- BLE transmit live data to a service
17 manager. That service manager can be anywhere. And with
18 live video coming through smart glasses or a cell phone,
19 the service manager can watch live that equipment being
20 serviced.

21 We can see current refrigeration. We can see
22 supply temperatures, return temperatures, amp draws on
23 motors. We can see what draw, we can see amp draw. We can
24 see superheat, we can see subcooling. We have full
25 psychometric workups on this equipment.

1 Next slide, please.

2 The way we do this, we have two different apps.
3 One is the field technician. So, if you would, just
4 picture this field technician, a very simple app using
5 tools that he already uses. We are tool agnostic. We're
6 not tied to any particular tool manufacturers. We're tool
7 agnostic as long as it's modern BLE equipment, Bluetooth
8 enabled equipment, it will work with our software.

9 Technicians identify a job, they add in some very
10 basic information. They record the problem, they pair
11 instruments, the Bluetooth instruments, the first time
12 only, as the first time you pair your instruments and then
13 you're able to attach this equipment, the Bluetooth
14 equipment and monitor everything live.

15 We use the same technology that modern chat
16 services do to be able to bring that data from the
17 technician's phone back to the service manager. And so, it
18 is virtually live. We're talking a second, maybe two
19 second intervals. All this data that is collected is
20 stored and archived as well.

21 We have basic health indicators for service and
22 for quality installation to look at how has this system
23 been installed? Our goal with this as we started thinking
24 about it in these terms is to really simplify that
25 compliance process, because as we're talking about

1 compliance, we're talking about contractors who time is
2 everything. And being able to, as it's already been said,
3 many times, getting through the installation process
4 quickly and efficiently in one day as Mike just said.

5 It's brilliant to be able to do something to
6 verify quality installation. At the same time, you get a
7 video inspection with a building department and your health
8 and safety inspection.

9 So, getting everything done at one time with the
10 homeowner is something that ... it's one of those huge things
11 that contractors are burdened with. So, we're really happy
12 about this.

13 Next slide, please.

14 This information all comes back to the service
15 manager. The service manager has a live video feed. He
16 has a numerical representation of all the numbers. He also
17 has graphical information of every single data point that's
18 being collected. And there are tens of thousands of them
19 that are being collected.

20 Some of the things we're seeing are fluctuations
21 and amp draws and motors that we've never seen before,
22 compressor failures, improper air flow -- things that we
23 can see over time now, that we've really never been able to
24 see in the past.

25 So, all this data is collected and it's stored.

1 The contractor can use this information on one call today,
2 come back in another year and actually compare the data
3 between the two sessions and this is something that was
4 very important to us to be able to have this data
5 exportable either for compliance purposes or for the
6 homeowner. We have significant reporting capabilities
7 here.

8 Next slide, please.

9 Technicians can now ... I'm not going to go through
10 this. Just for time purposes, I'm not going to go through
11 the problems we have on the left side, but I'm going to go
12 through some of the benefits with Visual Service.

13 Technicians to now make diagnostic-driven
14 decisions, receive instant support and on-the-job training.
15 Technicians can become productive in weeks rather than in
16 years. After some safety orientation, basic training using
17 the tools, technicians can become the eyes and ears of a
18 service manager, a more experienced technician in the
19 trade.

20 The great tsunami is overtaking our industry, so
21 much talent is leaving so quickly. And we see this as a
22 tool to be able to save a lot of that talent and pass it on
23 much easier. Technicians learn their trade more quickly
24 with a positive accountability and live mentoring
25 abilities, built individual service, and technicians gain

1 confidence through successful diagnostics of HVAC
2 equipment.

3 Next slide, please.

4 Customers can view reliable, independent third-
5 party data, independent. Visual Service is a device,
6 something that shows up on a phone, which can be shown to a
7 customer independent. They get actionable data about how
8 their equipment is working overtime, visit after visit.

9 And the for the first time, we believe customers
10 will actually be able to have a window into the overall
11 efficiency and health of their system that they've never
12 seen before.

13 Next slide, please.

14 Visual Service is a way to train a more qualified
15 workforce properly. Visual Service leverages existing and
16 emerging technologies to provide real-time feedback during
17 equipment installation. And Visual Service provides
18 quality assurance, the documents, installation, and service
19 from a job's beginning to end.

20 Visual Service is a pathway to improve HVAC
21 systems that can help meet climate goals through better
22 installation practices, including those such as proper
23 refrigerant management. We are able to weigh and watch
24 refrigerant being recovered from a system through Bluetooth
25 digital scales.

1 And Visual Service provides a means for high
2 performing contractors to transparently demonstrate quality
3 in every installation; not one in seven, one in 30 -- every
4 installation that they do, because this is part of the
5 process that they do anyways.

6 So, next slide.

7 It's a lot of information I went through very
8 quickly. I love this conversation. Thank you very much
9 for this opportunity.

10 MR. FOO: Thanks so much for that information,
11 Bob. I really appreciate it in your presentation, how you
12 touched upon not only some of the streamlining benefits,
13 but also some of the workforce and data as well. I think
14 that's really important.

15 So, with that, we are now going to turn in our
16 last two presenters towards some local jurisdictions. They
17 are doing some exciting and innovative work. We'll be
18 turning now to the County of Sonoma where we'll have Aris
19 Knoles and Brian Keefer.

20 Aris Knoles supervises a team of building
21 inspectors who provide building inspections on projects
22 throughout the county. Aris has led the implementation of
23 Permit Sonoma's Virtual Inspection tool that provides
24 inspection services to contractors remotely with the use of
25 an Apple or Android smartphone.

1 And also joining Aris is Brian Keefer. Brian is
2 the Permit Sonoma ombudsman. And in this role, he's a
3 member of the management team focused on providing a more
4 user-friendly permitting process for both the customers and
5 the staff.

6 And in addition to that, the ombudsman also acts
7 as the Permit Sonoma ambassador to the business community
8 and the citizens of Sonoma County. And so, with that, I'll
9 invite Aris and Brian to present ... turn on your video if
10 you do have that and begin your presentation. Thank you.

11 MR. KEEFER: Thanks, Fritz. I'll go first.

12 So, thank you for the opportunity to share what
13 Permit Sonoma has been doing and is doing to try to
14 streamline the processes for the contractors and the
15 residents of Sonoma County, which is very important right
16 now with all the pressure put on the construction industry
17 with the rebuilds, the fire burned areas. And just a
18 normal thing that we tried to do to make things easier for
19 people.

20 Josh Dean with the California Energy Alliance
21 earlier mentioned the importance of reducing permitting
22 barriers and costs to try to encourage people to get
23 permits for these types of things. And that online
24 permitting process is an important step towards that end.

25 And so, in early 2020, Permit Sonoma had a goal of

1 about four or five months out to go to a full paperless
2 system, online processing of all our permits. And when the
3 pandemic hit and everything shut down, the divisions pulled
4 together and we were able to do that in two days.

5 And so, we admit that it's not a perfect system
6 yet. We'll constantly be working on it. We do have some
7 backlogs mostly at the intake, at the front end of the
8 permitting processes. And the more that we can do to
9 automate these, the permitting will help alleviate that and
10 make it easier for people to get permits.

11 One thing that we've done just in the last couple
12 of weeks, we rolled out a solar app program from the
13 National Renewable Energy Laboratory, which allows
14 qualified solar contractors to process roof mounted
15 residential solar applications completely automated.

16 So, it doesn't go through a permit tech, it
17 doesn't go through any kind of plan check -- they fill out
18 the information online and automatically pull the permit.
19 And that's really important. If we can do that for HVAC
20 also, that would be great because a lot of the reason
21 people don't get permits is because they're worried about
22 the time it will take to get them.

23 And some of them do take quite a bit of time to
24 process as they include plan check. But in this way, we
25 can bypass that and get them the permit right away, so they

1 don't have that obstacle anymore. We're, also moving
2 towards a digital plan review system we're going to be
3 rolling out here in a month or two to actually alleviate ...
4 it won't completely replace obviously the plan checkers,
5 but it will alleviate a lot of the work they have because
6 it will be going through the first plan review digitally
7 rather than taking a lot of time from the plan checkers
8 there.

9 So, that will certainly help with processing this
10 type of permit. And then we're investigating other apps
11 like the solar app to use on other permitting processes
12 also.

13 So, as we mentioned, Aris is our supervising
14 building inspector, he kind of led up the charge on setting
15 up a virtual inspection process also, which is another
16 thing that can really help save time for people. So, I
17 will turn it over to Aris and let him talk a little bit
18 about that.

19 MR. KNOLES: Hello. So, our virtual inspections
20 came to us as a ... it came very quick like Brian had said,
21 we had to do some changing as the pandemic hit.

22 And we didn't want to put the public out of not
23 being able to get inspections, not being able to get their
24 equipment or get anything that they may need to. So, we
25 had developed virtual online inspections right away. What

1 we did is we ended up connecting with a company -- there's
2 a lot of different companies out there that provide this
3 service... is a video online, virtual two-way talking. It's
4 like a FaceTime kind of a deal, but what it does is it
5 provides GPS, so we know that the contractor or that
6 homeowner is onsite at the time of the inspection. We know
7 that they're not at their own home doing an inspection on
8 their own furnace.

9 We also know that now that ... I'm not sure, I'm
10 sorry; in the past, a lot of the time when a HVAC installer
11 installs a furnace, one of the issues is they leave the
12 homeowner up to completing the inspection. One of the
13 benefits of having this virtual inspection is the installer
14 is able to do their own inspections at the end of their
15 inspection day.

16 There's two ways we do it. We do it online, which
17 is live person, live chat with somebody, video chat with a
18 building inspector or an offline system. Let's say these
19 folks don't have any kind of a Wi-Fi or any kind of a
20 signal. And so, we're able to set them up where they can
21 go and provide a video and explain the entirety of the
22 installation.

23 This wouldn't be possible without really having
24 duct testing and other stuff involved because we otherwise,
25 would have to be there to actually physically feel, looking

1 for air. So, with duct testing, duct leakage testing
2 available or required in most instances, that allows us to
3 be able to just do a visual inspection over a video.

4 It's something where we did quite a bit during the
5 pandemic. We're back in the field now, and we're doing
6 maybe about 50% of these. But like I said, it really makes
7 it efficient for the contractor, the company that's
8 actually putting the installation in, because they're able
9 to perform the inspection as well, where before, they'd
10 have to come back if there's anomalies and it would cost
11 them more money.

12 So, I'm not sure ... that's about it for me. Thank
13 you.

14 MR. FOO: Alright, thanks Aris and Brian for that
15 information, it's great to see kind of a convergence of
16 ideas happening at both on the contractor side and also on
17 the building permit side almost naturally. And so, for our
18 final panelist, we're going to turn to the City of San Jose
19 and Ron Davis.

20 Ron is the Building Inspection and Special
21 Projects Manager for the City, and he's also the recent
22 recipient of a SPUR Impact Award for his work on the San
23 Jose Reach Code and Gas Ban Ordinance. So, with that,
24 we'll invite Ron to turn on your video and begin your
25 presentation.

1 MR. DAVIS: Thank you, Fritz. Thank you,
2 commissioners, for putting this program together today.
3 This has been very, very helpful for me to hear the various
4 comments from the panel members. I hope that San Jose is a
5 leader in this industry right now, as far as inspections
6 go.

7 Next slide, please.

8 So, we have permits for heat pump HVAC available
9 online, and quite honestly, all residential permits are
10 available online. This has really been helpful in
11 shortening the wait. Obviously, through the COVID-19
12 pandemic, we had to pivot to a method that would allow us
13 to do this. Fortunately for us, we were already doing this
14 to a pretty large extent. And we were able to do it,
15 expand and do some commercial applications as well.

16 So, we have done this through our permitting
17 center, through our IT department. Everybody has worked
18 together to make this happen and be very viable.

19 Next slide, please.

20 So, we can not only pull a permit online. You can
21 schedule inspections online. This has been greatly
22 beneficial to shortening the time that it takes to get a
23 permit, the time that it takes to schedule inspections.

24 I know I heard from some of the other panelists
25 that the amount of projects that actually get inspections

1 or get permits is very low. I agree with that. Our goal
2 is to incentivize by shortening the process. But also, by
3 scheduling online, we are able to ... a customer is able to
4 get a discount. So, we have incentivized them through not
5 only a shortened timeframe, but also through a monetary
6 reward that has been quite helpful.

7 And I think that San Jose is leading the way on
8 this and I do understand that a lot of jurisdictions are
9 struggling with this. Fortunately, for us, we've had the
10 wherewithal to be able to do this through the pandemic.
11 It's certainly motivated us and pushed us to do it quicker.
12 And it's working well, I think for everyone involved.

13 Next slide, please.

14 Remote video inspection. So, early in the
15 pandemic, we had fortunately already been talking about the
16 need for video inspections. And so, while we didn't have a
17 complete roadmap for it, I quickly put together some SOPs
18 so that we could perform video inspections and have a
19 guideline if you will, a guidebook for how to do it.

20 And what we expected, that worked really well. We
21 were successful early on. Initially, we were doing every
22 type of inspection that could be done residentially, at
23 least, via video. And so, we had a large number of
24 inspectors engage in that on a daily basis. We have scaled
25 back since we have moved back to field inspections.

1 However, our goal is to continue to push the
2 parameters on what we can do via video. And at this point,
3 we're doing furnaces, water heaters, some solar
4 installations, PV solar installations, and many other
5 things. Anything that we can possibly do accurately, we
6 are doing.

7 Next slide, please.

8 So, I think our secret sauce with this is the
9 ongoing in-house training of inspectors. I think that we
10 have a very unique situation and that we have a lot of very
11 talented individuals in our inspection group. And so, our
12 inspectors are trained for, in this case, heat pump
13 technology. They're trained for ... every type of
14 inspection, we're trained for at a very high level.

15 And it's ongoing training. It's not just a once
16 and done, but it's a system whereby we go through about
17 every six months, we start rotating through and doing in-
18 house training so that our inspectors are up to date.

19 And the end training is not just done in-house. I
20 mean, it's ... I'm sorry, it is done inhouse, but our
21 training is via ... right now, we're using a Zoom app, cause
22 we're not able to sit in the classroom. But prior to the
23 COVID-19 outbreak, we were doing classroom training. We're
24 now doing Zoom training.

25 And then we also go to the field. We pair up with

1 the experts, go to the field and actually look at
2 installations and inspect those installations. So, we're
3 able to vet our inspectors that their knowledge is
4 sufficient to do a quality inspection and what to look for
5 in those inspections.

6 Next slide, please.

7 Inspector training is also because we understand
8 electrical training is an integral part of heat pump
9 installations, heating and cooling, heat pump water heater.
10 The inspectors are trained by experts. Once again, in
11 electrical installations, they are trained via a Zoom
12 classroom, and then vetted in the field to be able to make
13 sure that they are in fact capable of doing the
14 inspections.

15 We are unique in that in San Jose, we have
16 specialty inspectors, which are our expert trainers and
17 specialty supervisors. And we have combination inspectors.
18 So, we are able to train our inspectors, our combination
19 inspectors, at a very high level and know that they
20 understand what they're looking at. And there's also
21 resources available on a daily basis to check in, to make
22 sure that what they're looking at is okay.

23 And once again, we're using modern technology. We
24 take pictures, we take videos, we send those to one
25 another, and that allows us to verify what we're looking at

1 is accurate.

2 Next slide, please.

3 Building Energy Efficiency Standards. So, this
4 one is a big one for me. Energy Code compliance is
5 something that building departments have been tasked with
6 for some time now. And I believe it's a very important
7 part of what we do. I mean, we're looking at the
8 sustainability of cities.

9 We're looking not just from a health and safety
10 standard, but from a greenhouse gas emission perspective as
11 well now. And so, energy inspectors are trained by experts
12 in Energy Code compliance. We use a lot of day room
13 training, we use in-house training.

14 I get to train on that often, and same as our
15 trade inspections. This is trained often and also,
16 verified in the field through actual ride-alongs where we
17 look at what the inspector is seeing, what they're looking
18 for and so on. And so, they're very well trained for what
19 documents to look for, what the energy compliance documents
20 should have in them.

21 And also, the importance of doing this, it is part
22 of an overall inspection and we're looking for really
23 quality installations and understandably so, for some of
24 the previous panel members, we're not looking at
25 everything, but what we're looking at is definitely being

1 looked at a very high level.

2 So, next slide please.

3 So, our goal is to provide access to permits and
4 inspections as conveniently as possible. We really, in San
5 Jose, we feel that that is our number one way to get permit
6 and inspection compliance. So, I think I didn't spend
7 enough time talking about our video inspection program.

8 Not only can you get your permit online, get your
9 schedule, your inspection online, but you can also schedule
10 your video inspection online. The good thing that we have
11 done with video inspections and that's been talked about by
12 some of the panel members, is that we have been able to,
13 once we schedule that inspection, which was always the next
14 day, we keep that permit open until we can approve that
15 inspection.

16 So, our video inspectors go on, they look at the
17 installation, they then say, "Well, this is missing, or you
18 need to do this or that. And if you're able, we will look
19 at it again this afternoon. If not, we'll look at it again
20 tomorrow morning, depending on your schedule."

21 So, we're working very closely with the
22 contractors to make sure that it works for them at the
23 highest level possible. Contractors are the ones that are
24 taking advantage of this, because it does make their job
25 much, much more efficient. They don't have to wait around.

1 If they do have to make corrections, they're able
2 to do that in the same day and go back and get that
3 inspection completed. For us, it makes sense, because it
4 gets it off the books, we get to put it in the completed
5 files. And we're done. We don't have to look at it again.

6 Next slide, please.

7 One of the ideas that was brought up is the fact
8 that simplifying the process that I think that's been
9 talked about by everyone here this morning, for the most
10 part. The simplifying of the process is our goal as well.
11 We feel like the easier we can do this process from start
12 to finish, the better it is for the customer, for the
13 contractor, and for us.

14 And so, it's a win-win for both parties for all
15 parties. And we also, we understand that time is money to
16 a contractor. We understand that they need to get their
17 jobs done so they can get to the next one and make money.
18 And I think we've done a pretty good job of making sure
19 that we're able to you know, meet that need of the
20 contractor and get their projects done in a timely manner.

21 Next slide, please.

22 So, we really do believe that when our customers
23 are successful, we are successful. The biggest part of
24 interacting with the public is that we do have an
25 obligation to perform at a high level. And I think that

1 from San Jose's standpoint, my standpoint as well, that
2 interaction by a high level, I mean that we are trained for
3 what to look for, we are trained for what is important, we
4 are trained for efficiency, and that's understood by
5 everyone involved, including the homeowner and the
6 contractor.

7 Our goal of the inspection process is to make sure
8 that everything is done to the highest standard possible.
9 And I think we're doing that pretty well.

10 I wanted to touch on some of the comments that had
11 been made earlier about the ... Davis for instance. San Jose
12 is a city of a million people plus. I would love to, I
13 think it would be great if we had a presale inspection.

14 You have to understand that the size of the city
15 does matter. I think that those things would have to be
16 done/would have to be scalable to do it simply because we
17 are doing right now 500 plus inspections a day on regular
18 inspections. To add that to that part of it would be
19 pretty intense.

20 So, anyways, it's a great idea. I think it's
21 something that we should look into. I think that the other
22 thing that was brought up is the CSLB portion of this. We
23 do check contractors' licenses, and we do make sure that
24 the contractor is licensed and licensed for what they're
25 installing. So, our contractors are on file with the city.

1 They have to have a business license and the
2 contractor's license registered with us in order to even be
3 able to pull a permit online. And so, it's very important
4 that we check that. We feel that licensed contractors are
5 the only ones that should be installing this type of
6 equipment in the city of San Jose, at least. Actually, I
7 think, in the state, in the country for that matter.

8 And next slide, please.

9 Yeah, the summary facilitation of quality
10 installations, online permits, online inspection,
11 scheduling, remote video inspections, and training for new
12 technology -- those are our number one keys that we
13 understand need to be met in order for everybody to be
14 successful in the City of San Jose.

15 And that is the end of my presentation. So,
16 please ask questions if you have any. Thank you very much
17 to the commissioners and have a good day.

18 MR. FOO: Ron, thanks for that presentation.
19 We're going to invite now all those previous panelists to
20 turn on your video, if you can, and get ready for the
21 discussion.

22 Commissioner McAllister, at this point, I will
23 invite you all to provide some ... or ask some questions now,
24 if you have any.

25 COMMISSIONER MCALLISTER: Great, thanks a lot,

1 Fritz. And thanks to all four of you; Mike, Bob -- well,
2 five of you; Aris and Brian and Ron for your insights,
3 super helpful.

4 And I think there's a lot of innovation going on
5 here that we want to support. And the question is, how do
6 we best support it? How do the cities, how do all those
7 stakeholders, including the city building departments find
8 ways to bring resources to this so that they can really,
9 fully buy-in in ways that make them you know, most
10 effective?

11 And so, you know, I think the City of Davis is a
12 great example of a situation where we want to support and
13 you've got a lot of leadership going on and how the state
14 and local governments can work together.

15 I guess ... I think one theme I just want to
16 highlight here is that there is a need to modernize and
17 that takes resources. So, the inspection training in each
18 building department, you have to find ways to support that.

19 I've been in this business long enough to sort of
20 have seen the cycle of the big bust where housing market
21 crashed and there was just this ... yeah, I think was just
22 this widespread, this massive layoff of inspectors. And
23 cities had staffed up previous to that. And then the
24 bottom sort of fell out. And I think it's reasonable to
25 understand a little bit of reticence to step up at those

1 previous levels at the individual local jurisdiction level.

2 But on the other hand, we have this massive
3 enterprise that is with us that's here and is going to
4 scale quickly to decarbonize our buildings. And that
5 really requires us to up our game as a state. And not just
6 California, but across the country.

7 So, I just want to highlight the imperative of
8 finding some resources. We want to do that at the Energy
9 Commission to the extent we can. There looks like there's
10 ... depending on how you do the math, there looks like
11 there's some billion plus dollars coming through various
12 pipelines from the federal government to this sector in
13 some form or another. And whether that's through the state
14 energy program or grants or any other number of directly
15 federal or federal via the state agencies initiatives to
16 support this sector.

17 So, we'll definitely keep tabs on that and would
18 absolutely expect to work with local governments and
19 others.

20 I guess I'm wondering -- I want to ask Sonoma and
21 San Jose and then just ask this one question really, and
22 then pass it to Director Fogt. And Fritz, I know you have
23 a few questions as well that you want to tee up.

24 But for the local governments, I guess, what kind
25 of collaboration ... we heard from Davis, about Davis this

1 morning as well, and some other cities; what collaboration
2 is happening between cities? I remember when solar was kind
3 of starting to take off, it was early days, it was still
4 kind of pricey. The federal government actually sponsored
5 initiative called the Solar America Cities. It took
6 different names through the years and different iterations.

7 But basically, it provided a convening platform
8 for local governments to get together across the country
9 and share best practices and kind of egg each other along
10 and collaborate and share ideas. Is there a conversation
11 like that going on?

12 I mean, how palpable is kind of the imperative to
13 really up the game at the city building departments, and is
14 there that kind of cross-city- and -county-sharing going on
15 amongst you all?

16 MR. DAVIS: I would love to answer that
17 Commissioner McAllister. No. I've been involved in the
18 Reach Code. I've been involved in the gas ban at that
19 level. There is a lot of talk throughout the state and
20 throughout the country for that matter. But as far as
21 building inspections and modernizing building inspections
22 and having a more common way of not only issuing permits,
23 but doing the inspections, the training and so on ...

24 I mean, I approached that subject with some local
25 jurisdictions, and there's not a lot of buy-in. And it

1 really has to do with the economics of the situation. I
2 mean most building departments are short-staffed and most
3 building departments are struggling to do what they do.
4 And so, the idea that they would try to change what they're
5 doing based on somebody else's input, or to try to be more
6 uniform across, at least across a region is not getting any
7 traction. So, that conversation is not being had.

8 COMMISSIONER MCALLISTER: I don't know if Sonoma,
9 if Aris or Brian wanted to chime in on that. I guess, the
10 following question I would have, would be, what can we do
11 to help facilitate that conversation? What would be a kind
12 of a platform that would enable local governments to feel
13 comfortable just getting in the same room, whether it's
14 physical or virtual and really just sort of rolling up
15 their sleeves and taking a hands-on -- like how could we do
16 things better within our means?

17 MR. DAVIS: Yeah, and this question, this really
18 has come up by Santa Clara Valley Clean Energy, is actually
19 trying to promote those conversations because we run into
20 problems with permitting and inspections on clean energy
21 products, electrifying buildings, if you will. And every
22 jurisdiction has their way of doing it, and it's across the
23 board different.

24 And so, those conversations have come up and I've
25 offered even ... not that I have the authority to do that,

1 but I've offered to maybe have some sort of training where
2 we cross-train, where we have different jurisdictions come
3 into the City of San Jose. We go to their cities and we do
4 those kinds of interactive cross-trainings so that we can
5 learn from one another. I mean, I've learned a lot on this
6 panel today of what some of the situations are.

7 So, but those conversations have not taken place.
8 I think the commission, the state could help by offering
9 some funding and offering a platform that would get
10 everybody in the same room and have an open discussion
11 about that.

12 And the other thing, you mentioned earlier about
13 the layoffs and the amount of inspectors that got laid off
14 in the last downturn. You know, I want to say that that in
15 many cases has been a benefit to the building departments
16 because they were able to bring new blood in, new people
17 that had new ideas, that weren't ... actually, that came from
18 the contracting field, that understood what it felt like on
19 the other side of the table.

20 And that has increased our productivity immensely.
21 And I come from that scenario as well. So, there's a big
22 shift that's taking place in building departments as either
23 through attrition or layoffs, we're getting new ideas and
24 new blood. We're not stuck in the old -- for lack of
25 better word, good old boys club that kind of does things

1 that way.

2 So yeah, there's opportunity there. I think that
3 some funding would be very, very helpful.

4 COMMISSIONER MCALLISTER: Great. Thanks for that.

5 MR. KEEFER: Yeah. I think if I can jump in too,
6 I think the County and Sonoma too, and just like what Ron
7 was saying, we try to introduce a practicality to
8 inspections that comes from that background in construction
9 that people might have. Sometimes if you apply a real
10 stringent interpretation of the code, it really just ... I
11 mean, that's one of those things that turns people off to
12 even getting permits.

13 And so, the main thing is that is it installed
14 right? Is it safe? Does it have the longevity that it needs
15 to? The main things that the code is there for is I think
16 what our inspectors are looking for. And Aris, you can
17 jump in and correct me if I'm wrong, but I think that's ...
18 and sometimes, it seems that the attitude in inspections
19 changes from jurisdiction to jurisdiction based on what
20 they have to deal with in the field, based on the
21 experience that the inspectors have.

22 I mean, there's so many things that go into it.
23 It is a human scenario. But some collaboration across
24 county lines and city borders and everything I think would
25 help. We get a lot of input from contractors that work in

1 other jurisdictions and say, "Well, this isn't really how
2 they do it in another jurisdiction." And that might give us
3 an idea for looking at something to change.

4 But it is kind of a tough thing, I think to get
5 everything even over all the jurisdictions. I don't know
6 if that's ... I mean, our guys out in the field in rural
7 Sonoma County are encountering much different things than
8 I'm sure Ron's guys are in downtown San Jose or whatever.
9 So, there's a difference in the different jurisdictions.
10 And I think that's important to realize.

11 COMMISSIONER MCALLISTER: Yeah. Great. Thank
12 you, Director Fogt did you have any follow up questions for
13 this panel?

14 EXECUTIVE OFFICER FOGT: Yeah, just one. A very
15 impressive presentation. We appreciate learning about the
16 best practices. I do have a question as it relates to
17 training of the contractors. I know in manufactured
18 housing, there's a federal training requirement. The
19 contractors have to be trained at certain points.

20 The swimming pool industry has established
21 training for contractors. So, really a question for Bob
22 Wiseman; I'm just curious, has there been any talk amongst
23 the HVAC contractors in having some type of training, even
24 if it's just voluntary? Because you explained that by being
25 more efficient, you could actually be more successful, make

1 more money.

2 MR. WISEMAN: Yeah. There always is. Additional
3 training is one of the things that our members are
4 constantly striving for. Every time we poll members, how
5 can we help them, it's training. That's what they want.
6 And as far as in the licensing scenario, I mean, IHACI
7 doesn't have a formal position on this at this point, but
8 there's a lot of talk about it

9 And it's something that really needs to be
10 investigated because there's a very real possibility of
11 doing something that could really benefit the industry
12 there. So, yeah, there's a lot of talk there.

13 EXECUTIVE OFFICER FOGT: Thank you. That's all I
14 had.

15 COMMISSIONER MCALLISTER: Great. Well, thanks
16 very much. And really impressive panel. Fritz you had a
17 few other topics I think that we wanted to make sure we
18 covered. So, I want to pass it back to you. And looks
19 like we have one question in the Zoom Q&A as well.

20 We're still good for time. We have nominally
21 until 12:30, including public comment if there is any. So,
22 I think we're good for time. So, thanks everyone for
23 sticking with us.

24 MR. FOO: Yeah. I had some questions teed-up.
25 But let's first turn to the Zoom Q&A to make sure those are

1 addressed. And I see one from Kenzo Minami -- I like this
2 question.

3 It says regarding Bob Wiseman's Visual Service,
4 what are your thoughts on addressing the homeowner's
5 privacy concerns over having the interior of their home
6 recorded? Has that been an issue?

7 MR. WISEMAN: Well, at this point, Visual Service
8 is just entering a beta phase and it's an internal beta at
9 this point. So, we have limited experience with this.
10 What we're doing at this point is just having a waiver
11 signed by the homeowner, as we're walking in.

12 Many contractors actually have a homeowner sign a
13 document, you know that, "Okay, we're going to do service
14 work for you. Here's what it's going to cost you. And
15 here's kind of the process" and kind of lays it out. So,
16 this is just another paragraph on that, if you will.

17 That's how we've addressed it so far. We are not
18 getting pushback from it. In fact, this type of video
19 documentation, it's becoming much more mainstream than it
20 ever has. So, we're just not seeing issues with our
21 internal beta at this point. We're not seeing big
22 pushback.

23 MR. FOO: Thanks for the answer. I'll turn to
24 some of the questions that I had now.

25 One, I have for Mike; Mike, you have presented a

1 couple recommendations or possible opportunities. And one
2 of them that you mentioned was attached to the equipment,
3 having some kind of fault notification or display.

4 I was curious, has that idea been floated more
5 widely? Has there been pushback on that from the
6 manufacturers? It seems a great way to have an automated
7 system and I was curious to know a little bit more about
8 your experience with that.

9 MR. MACFARLAND: My limited experience was just in
10 a consultancy role for a developer, as I mentioned in my
11 presentation, of that technology, that was a standalone
12 version, as opposed to something that's integrated or built
13 into the manufacturer's equipment.

14 It has tremendous possibility to be able to
15 analyze every single cycle and have a device alert you when
16 you are clearly wrong, has tremendous potential for things
17 like spotting refrigerant leaks at the time that they're
18 occurring to where that can be dealt with, and that's
19 something that should be in the forefront of all of our
20 minds in terms of stopping environmental damage.

21 But in terms of pushback for manufacturers, I
22 would just note that what they can do at the manufacturing
23 level for a very small cost is a very detailed process and
24 expensive one to sort of retrofit into an existing system.

25 So, I think that most of the possibility for that

1 realm is there at the manufacturing level, that if we can
2 get, much like one manufacturer in the Central Valley
3 Research Homes where we're testing one of their systems
4 that they've done an onboard diagnostics system on their
5 outdoor unit, that will run a cycle and tell you if a
6 charge appears be correct.

7 So, manufacturers have moved in this direction,
8 but it still isn't the full monty of alerting you of that
9 defect. They're halfway there in this particular brand's
10 case. So, we need more of that, and I think it all starts
11 with we have the space in the code for this technology,
12 we've got to populate it. And the way to do that is to of
13 course drive it with demand, which is eliminating the
14 regulations, so lower the bar so that this system can then
15 become that pathway around that regulation.

16 MR. FOO: Great. Thanks for that response. I
17 will just have two more questions lined up. I know one of
18 my questions that I had originally had actually been
19 answered already. So, that's great to have.

20 One thing Bob that you had mentioned was this
21 mistrust, perhaps between consumers and contractors and so
22 kind of broadly posing it to everyone; what are some of the
23 misconceptions that maybe you all see from your vantage
24 point and what can be done to improve those relationships?
25 Whether that's simply more education and outreach or

1 something more visible.

2 I was curious as to what you thought might be done
3 to improve those relationships or perceptions?

4 MR. WISEMAN: Well, I'll go first. One of the by-
5 products of Visual Service is documentation, and one of the
6 goals is to provide documentation to homeowners,
7 transparency, and that's something that just on a large
8 scale hasn't been possible before.

9 If a service technician says you need access to a
10 homeowner, you need to replace your condenser fan motor.
11 Okay, they have no way to know if that is true or not.
12 They have no way. There's no ability to check that. Your
13 compressor is defective. The homeowner has no way to know
14 that.

15 So, there's a very strong consumer protection
16 portion of Visual Service to help address that. And we're
17 getting very good feedback on it at this point.

18 MR. MACFARLAND: Yeah, just add to that -- those
19 are great points. Just that onboard system would do the
20 same thing where if the equipment itself is telling the
21 person, "Hey, you need to replace this item, this item has
22 failed," then obviously, they don't have to trust our
23 contractor. It's the manufacturer that's saying this is
24 operating out of spec, and this is going out.

25 So, I'd love to use systems that can do that

1 whether it's a single point in time or ongoing continuous
2 commissioning type systems.

3 MR. FOO: Great. And I think to round off this
4 panel, I would love to hear from all of you if you could
5 make one and just one near term change whether that's more
6 resources, a platform, picking that one, what would it be?
7 And maybe a little bit of a reason behind that.

8 MR. DAVIS: Yeah. So, I would really like to see
9 a platform to have the building departments get a more
10 organized situation together where we are inspecting
11 similarly. I don't think that any building department has
12 the misconception that we could all be the same. And I
13 don't think that's expected.

14 However, I think a platform where we can ... I know
15 in San Jose, we hear often I went to Cupertino or I went to
16 Sunnyvale and they didn't ask for this, and they didn't
17 want us to do this. And while that is troubling to me, I
18 understand what the code says, we understand what the code
19 says, we understand what the requirements are.

20 And so, if they're not being asked in other
21 jurisdictions, I oftentimes tend to think that they're
22 being overlooked in other jurisdictions. So, I would like
23 to see a platform where we could raise the bar if you will,
24 on our inspection processes across at least, like I said,
25 at least across various regions in California, where we are

1 interconnected by distance where it would be a more
2 equitable approach to doing building inspections.

3 MR. MACFARLAND: I'll jump in and say my single
4 thing would be just like consumer awareness, that not only
5 is there going to be this time of reckoning when you go to
6 sell your home, that you're going to need to release
7 whether or not the work that you did was done to code and
8 with the appropriate permits.

9 So, the time to deal with that is we have to
10 change-out time or the upgrade time, but also awareness
11 that 30 to 40% that was mentioned in the first panel of
12 opportunity exists in these installations and that things,
13 even if they are done to the minimum code standard, are
14 still not what they could be.

15 And so, that could be driven and funded by
16 utilities that are funding these programs that can help
17 show some case studies of what customers have saved by me
18 when technicians actually measure things with these
19 systems; what does an RFID device or what does following a
20 measure of performance pathway actually do?

21 So, technicians start to measure, they start to
22 learn incredible things about the results of their
23 decisions, and then their next installation is that much
24 better because of that feedback loop completion. And then
25 that has that spillover effect outside those programs, so

1 those technicians are better for of their jobs and they
2 understand what they're doing so much better.

3 So, it's a supply technology like these systems
4 that enable that to happen by putting these tools and
5 combining skills between technicians into something that
6 creates real change, but it all starts -- the customers
7 have got to be aware of it and ask for it so that then the
8 companies will put their people into training to figure out
9 how to deliver this thing that's being requested of them
10 because there's actual demand for it.

11 So, I can't start like, oh, I just want to do
12 training. It's got to be like, "Well, we've got to learn
13 how to do this thing that my customers are asking me to do.

14 MR. WISEMAN: I'll go next. I think of everything
15 that's been discussed. I mean, I think there is no silver
16 bullet, if you will, for anything that we're talking about
17 here, but ease of the permitting process has been mentioned
18 several times.

19 Ron just mentioned it; again, this consistency
20 across jurisdictions, it's one of the reasons that IHACI
21 has supported this unified statewide permitting system of
22 some sort, because not only would that create that upfront
23 process of actually getting the permit, what's required for
24 a permit, which varies so greatly between jurisdictions.

25 But it could create the process for, okay, well,

1 how are we going to standardize inspections for these
2 across the state? Because the variances that we see from
3 jurisdiction to jurisdictions are mind-numbing. And it's
4 just one of those huge things that a contractor will say,
5 "I am not going to pull a permit in that city. I'm just
6 not going to do it, because it's a nightmare and I know it
7 is, and I'm not going to do it."

8 And I say "I" -- I'm speaking to the generic guy
9 from contractors in general, but that's the reality of what
10 happens. So, if I was going to pick one thing, I think
11 from the suggestions that I've heard that unified statewide
12 permitting platform, I think at least for changeouts, for
13 equipment changeouts, there could be things for new
14 installations that for very real reasons need to go through
15 a plan check.

16 But that's not what we're talking about here. You
17 know, 90% of the systems that are installed are changeouts
18 and those are the ones that are not getting counted. So,
19 that's my 2 cents.

20 MR. FOO: Are there any other comments on that
21 last question?

22 MR. KNOLES: Well, I just kind of the same thing
23 as our previous panelists were saying, just trying to work
24 across the board, having some kind of standardization, it
25 would be nice. It'd be nice for our contractors, our

1 customers, and for our inspectors just to be all on the
2 same page.

3 MR. FOO: Excellent. Well, I think on that note
4 then, I will thank the panelists and will turn it over now
5 to public comment. I think it's RoseMary who's handling
6 that, I don't know if we currently have anything.

7 MS. AVALOS: Thank you. Thank you, Fritz. Yes
8 commenters, please allow one person per organization to
9 make a comment, and comments are limited to three minutes
10 per speaker. I will first call on folks using the raised
11 hand feature on Zoom. So let me see if there's anyone.

12 I don't see any raised hands on Zoom. So, I'll
13 move on to the phone lines. And a reminder to phone users;
14 dial *9 to raise your hand and *6 to mute and unmute your
15 phone lines.

16 So, let's see. Okay. I'm not seeing any raised
17 hands. So, that completes public comments. I turn now to
18 Commissioner McAllister.

19 COMMISSIONER MCALLISTER: Great. Thanks,
20 RoseMary. And thanks Fritz for moderating that panel,
21 really great panels, both of them this morning. And I want
22 to thank all of our, I guess nine panelists overall and
23 Bill and Fritz for facilitating.

24 And let's see ... I guess I don't have a whole lot
25 of summary comments. We really are I think building a

1 great record for this conversation. As I think everybody
2 has said, and I think I said in my opening comments, this
3 is a really moment of opportunity to improve this ecosystem
4 and to do better installations, do more installations, and
5 increase the level of professionalism, accountability for
6 every installation.

7 And I think thanks for Director Fogt, David for
8 being here. I really appreciate it as well. And your
9 insights, they make a huge difference here, and I'm really
10 looking forward to working together and figuring out ways
11 we can guide this conversation kind of in concert, because
12 there are lots of different threads of this tapestry across
13 the state.

14 And it's a very diverse state, obviously, with
15 lots of different local jurisdictions and different
16 communities. And no one size fits all, really. I think as
17 several of our speakers have said, no one size fits all is
18 really going to sort of fit every ... there is no one size
19 fits all for the state, really. We have to create tools
20 and abilities and skill that can be adapted across the
21 different contexts in our state. And so, I think that's
22 doable.

23 I'm really glad that we're having/refreshing this
24 conversation. And we have a lot of people who are very
25 knowledgeable as participants in this call as well.

1 Really looking forward to receiving written kind
2 comments. There's a fair amount of creative thought going
3 on here. Bill talked about some of those ideas, and we
4 heard about a lot of new ideas or sort of newly, I think,
5 possible approaches that maybe even just a few years ago,
6 we just didn't have access to these kinds of approaches.

7 And COVID sort of put all that on steroids in
8 terms of being able to use remote digital tools to
9 accomplish a lot of these things at lower cost than maybe
10 historically, would've been the case.

11 So, anyway, I won't drone on, but I just am really
12 excited about this conversation. Compliance isn't often
13 all that sexy in terms of ... from the homeowner's
14 perspective, I think we do need to do a better job to
15 articulate and really demonstrate the value proposition for
16 that homeowner. And through these tools, I think we should
17 be able to do that. But continual improvement I think is
18 all of our job together. So, really looking forward to
19 collaboration on this.

20 And the IEPR document will take this conversation
21 into account and be reflected in the building
22 decarbonization section, but that's really just a moment in
23 time. You know, we really need to figure out a longer-term
24 strategy just to keep focusing on this and rolling with new
25 developments and taking advantage of those beyond the IEPR.

1 And just finally, I'll just point out, and we all
2 know this -- but our carbon reduction and goals are
3 immense. They will be challenging. We're doing great on
4 the kind of generation side and decarbonizing the grid
5 itself.

6 We really need to take advantage of that clean
7 resource to help our buildings be a part of the solution
8 here. And that means doing good installations and really
9 taking advantage of all the latest technology, implementing
10 the Building Code, but particularly in our existing
11 buildings making sure we have all the ingredients for
12 success as we really try to scale up retrofits of existing
13 buildings. So, thanks everyone for your leadership here on
14 that.

15 And with that, I'll pass it to David for any wrap
16 up comments, you might have. Really appreciate your being
17 here.

18 EXECUTIVE OFFICER FOGT: Yeah. Well, thank you.
19 Again, I really appreciate the opportunity to participate.
20 Just a couple things came to my mind and that is that the
21 Contractors Board can be a very valuable partner to all of
22 you. Not only do we need to look at ways to enhance our
23 enforcement of permit requirements, but also the education
24 of consumers and contractors.

25 So, what I'm going to do after this meeting is

1 I'll follow up with an answer to the classification
2 questions, but I'm also going to provide some direct
3 contact information for all of you. If you have any ideas
4 regarding outreach opportunities, if you can serve as a
5 subject matter expert for us, that would be helpful.

6 Because what I'm envisioning is that we're going
7 to put together a video and also some consumer awareness
8 information regarding the need to make sure that the permit
9 is obtained for these installations. That'll help the
10 consumer understand, but also, we need to send something
11 out to our C20 contractors. So, I'll make sure that'll
12 happen next week. And again, thank you for inviting me to
13 the meeting.

14 COMMISSIONER MCALLISTER: Thank you, Director
15 Fogt. Really appreciate your insights here and the
16 collaboration going forward. Very optimistic about that.
17 I totally agree; the contractors are really the lifeblood
18 of what makes all this possible. I mean, your guidance and
19 management of that community is just invaluable. It will
20 be critical for success.

21 Over on the comment on the chat there, are a
22 couple of links; one, how to submit comments to the docket,
23 which are due September the 24th. And then also, the link
24 to the recording of the workshop, which will be posted in
25 the next day or so. And a written transcript eventually

1 will turn up. But certainly, feel free to listen again. A
2 lot of content today.

3 And then finally, Denise Costa with the Energy
4 Commission has put in these notes, so thank you for that.
5 But don't miss the next IEPR workshop on Building
6 Decarbonization -- this thread is a really rich one this
7 year -- and Grid Interactive Efficient Buildings. And
8 there's the list, great.

9 So, there's the list, save the date, opportunities
10 on all the IEPR workshops that are coming up; October 5th,
11 building decarb. And October 25th, the sort of redux of
12 the energy efficiency doubling goal conversation, we began
13 last week, I believe it was. And then various forecasts
14 and different topics that are turning up.

15 So, we're, we're working across a lot of themes in
16 this IEPR, and they are all inter-related under the carbon
17 reduction banner. Our forecast, our reliability work and
18 taking advantage of, in particular, demand side resources
19 in ways that we really haven't done sufficiently in the
20 past.

21 So, that's related to building decarbonization,
22 but it's also related to sort of interacting technologies
23 at the local consumer building level that dovetails very
24 well with energy efficiency in our kind of current program
25 environment, but really need to be sort of evolved and

1 matured in a way that does underpin reliability and enhance
2 reliability as we scale up our consumption of electricity
3 with vehicles, with buildings and electric end-use
4 technologies.

5 So, lots of different interacting themes here, but
6 today is really critically important because all these
7 installations have to be done well, they have to achieve
8 the efficiency goals and the emissions reduction goals that
9 we're kind of counting on in the state. And so, that is a
10 human very hands-on process, that just involves hundreds of
11 thousands of decisions, people, contractors, professionals,
12 homeowners, business owners throughout the state every
13 year.

14 So, again, I wanted to just wrap up with that
15 context and thank again our panelists, and our moderators
16 and the IEPR team for another bang-up job on the workshop
17 front. So, really appreciate it. Heather, anything else I
18 should say?

19 MS. RAITT: You covered it all, thank you
20 Commissioner and we thank you for the support.

21 COMMISSIONER MCALLISTER: Great. Alright, well
22 done. And we are adjourned for the day. Thanks everyone.

23 MS. RAITT: Bye.

24 COMMISSIONER MCALLISTER: Thanks, David.

25 (The workshop concluded at 12:34 P.M.)

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 8th day of December, 2021.



ELISE HICKS, IAPRT CERT**2176

TRANSCRIBER'S CERTIFICATE

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 8th day of December, 2021.



Myra Severtson
Certified Transcriber
AAERT No. CET**D-852