

STAFF WORKSHOP
BEFORE THE
CALIFORNIA ENERGY RESOURCES CONSERVATION
AND DEVELOPMENT COMMISSION

In the Matter of:)
Preparation of the 2009 Integrated) Docket No.
Energy Policy Report) 09-IEP-1G
and)
Energy Storage Technologies and)
Policies Needed to Support)
California's Renewable Portfolio)
Standard (RPS) Goals of 2020)
-----)

CALIFORNIA ENERGY COMMISSION
HEARING ROOM A
1516 NINTH STREET
SACRAMENTO, CALIFORNIA

THURSDAY, APRIL 2, 2009

10:03 A.M.

Reported by:
Peter Petty
Contract No. 150-07-001

ORIGINAL

DOCKET

09-IEP-1G

DATE April 02 2009

RECD. April 23 2009

STAFF PRESENT

Mike Gravely

Brian Neff

Dave Michel

ALSO PRESENT

Kevin Dudney
California Public Utilities Commission

Dan Rastler
Electric Power Research Institute

Chet Lyons
Beacon Flywheels

Tom Bialek
San Diego Gas and Electric Company

Michael Montoya
Southern California Edison Company

Walt Johnson
California Independent System Operator

Jon Eric Thalman
Pacific Gas and Electric Company

Mark Rawson
Sacramento Municipal Utility District

Richard Fioravanti
KEMA

Ed Cazalet
MegaWatt Storage Farms

Charles Toca
Prudent Energy

Harold Gotschall
NGK Insulators, Ltd.
Technology Insights

Robert Parry
ZBB Energy Corporation

ALSO PRESENT

Janice Lin
Strategy and Consulting
California Energy Storage Alliance

Lon House
ACWA Energy Advisor

Charlie Vartanian
A123

Byron Washom
University of California San Diego

Bill Gray
Velkess Kinetic Energy Storage Systems

Praveen H. Kathpal
AES

Greg Tropsa
ICE Energy

Carl Lenox (via teleconference)
SunPower

Julie Way (via teleconference)
Solar Reserve

Henry W. Zaininger
Zaininger Engineering Company, Inc.

I N D E X

	Page
Proceedings	1
Introductions	1, 35
Opening Remarks	1
Mike Gravely, CEC	1
Kevin Dudney, CPUC	10
Energy Storage Technologies Overview	18
Dan Rastler, EPRI	18
Questions/Comments	35
Panel 1: Utilities, Independent Power Producers and Grid-Related Agencies	35
Discussion	35
Walt Johnson, California ISO	36
Jon Eric Thalman, PG&E	43
Michael Montoya, SCE	48
Mark Rawson, SMUD	53
Dan Rastler, EPRI	59
Richard Fioravanti, KEMA	62
Ed Cazalet, Megawatt Storage Farms (IPP)	77
Tom Bialek, SDG&E	87
Open Discussion	98
Public Comment	115
Afternoon Session	122

I N D E X

	Page
Panel 2: Manufacturers, System Integrators, and Other Energy Storage Technology Providers	122
Presentations	124
Charles Toca, Prudent Energy representing Prudent Energy, Inc. Vanadium redox battery (VRB) technology	124
Harold Gotschall, NGK Insulators, Ltd. Sodium sulfur (NaS) technology	135
Robert Parry, ZBB Energy Corporation Zinc bromine battery (ZBB) technology	146
Chet Lyons, Beacon Flywheels	154
Janice Lin, California Energy Storage Alliance	168
Questions/Comments	181
Public Comments	
Lon House. ACWA Energy Advisor Questions/Comments	198 206
Charles Vartanian, A123	207
Bill Gray, Velkess Energy Storage	214
Comments/Questions	214
Closing Remarks	236
Adjournment	238
Certificate of Reporter	239

P R O C E E D I N G S

10:03 a.m.

MR. GRAVELY: I want to thank everyone for coming today. I'm Mike Gravely from the Energy Commission, research and development division. Today's discussion is going to focus on energy storage.

We have a good crowd here. Today's agenda will include some brief, upfront discussions on technologies in general, just to give everybody kind of an idea of what technologies are out there.

And then we will go into several panel discussions. We have a large group of individuals that are on the WebEx calling in. And so just for a second, would you unmute everybody and see if anybody has any upfront questions of any challenges that we need to address before we start.

So, we're going to give everybody on the WebEx, if you have a problem that you're not able to hear the presentation, material is going to be presented on the WebEx. All the presentations today will be posted on the website within a day or two, as well as anything else that comes out of

1 the meeting today. So, from that perspective we
2 you be available to hear.

3 The meeting is being recorded both by a
4 court reporter, and the statements will be put --
5 I mean a CEC recorder, and that transcript will be
6 available at a later date on the website. And
7 we're also recording it as a backup feature
8 through WebEx, the audio.

9 For purposes of just a quick starting
10 point, for those of you in this building here,
11 just a couple of quick housekeeping details. We
12 do have facilities, restrooms right outside to the
13 left.

14 When you came in the center door right
15 in front there there is a snack bar. They
16 encourage not to bring anything but small cups or
17 anything in the room here. Water and those type
18 of things. So there is a sitting area out there
19 if you want to take a break.

20 And if you want to have lunch there's an
21 opportunity there, as well as several places
22 within walking distance of the Commission.

23 We do have, as an facility like this,
24 fire drills, and we have had incidences where we
25 had to leave the facility. If you hear the large

1 alarm and see everybody leaving, we'll go back out
2 the center door, ideally, or the door on the left.

3 There's a large park area over here with
4 ballparks and everything, and basketball courts.
5 And so we all meet over there -- again, it's about
6 a half a block away -- just to get away from the
7 building. So I don't anticipate that happening,
8 but it has happened.

9 If we have any other challenges, we've
10 had the ceiling tiles fall a couple times. I
11 think we've fixed all that, so I think we're done
12 with those type of challenges. But we have had
13 those in previous meetings, kind of provided some
14 entertainment for the room here.

15 Anybody from the WebEx that's having a
16 problem that we need to address before we start?
17 Okay, if you'd go ahead and mute everybody.

18 For those of you on the WebEx there will
19 be times for comments. If you have specific
20 questions that you're not able to, I encourage you
21 to type it into the chat session. And then we
22 have an individual tracking that, and they will
23 read your question or allow you to speak that the
24 time it's appropriate. We do have a large crowd
25 so we are going to have to manage the discussion

1 from there.

2 Overall, the objective of today's
3 workshop, this is an Integrated Energy Policy
4 Report; this is a document that the Energy
5 Commission, in conjunction with the PUC and the
6 ISO, publishes every two years. It is policy for
7 the state.

8 In the 08 IEPR, which is an update to
9 the 07 IEPR, every two years we do a full IEPR, so
10 09 is what we call a full IEPR. And every off
11 year we do an update.

12 Energy storage was identified in 07 and
13 08 as an area of interest. And we've had several
14 technical presentations and workshops to go over
15 the state of technology.

16 So, today we're not going to actually
17 spend much time talking about the state of
18 technology. We do have some vendors presenting in
19 the afternoon. If they get too deep into their
20 product I'm going to ask them to just talk about
21 the policy side today.

22 I do encourage all vendors, all people
23 interested, to send information to the docket. We
24 do want to understand and report in the IEPR the
25 state of technology. So if you're willing to

1 share with us where your technology is, what you
2 see as promising in the future in particular that
3 will support California's needs that we'll discuss
4 today, I would encourage you to provide me --
5 provide us that information to the docket so we
6 can review that information and summarize that
7 information, and to our Commissioners, and also
8 for the IEPR for 2009. So, if you'd take the time
9 to submit it, we will do that.

10 There's a possibility that we may cover
11 some of this storage information again at the
12 smart grid workshop in May; or we may have a
13 follow-on workshop if enough issues or items come
14 up that we think it's useful to have a second
15 workshop.

16 The plan right now is not to have a
17 second workshop before this IEPR is completed.
18 But the smart grid does include energy storage in
19 most of the discussions.

20 We also want to look at today, in
21 particular, the integration of renewables in
22 California, particularly the RPS on the schedule,
23 the RPS of 2020 of 33 percent renewables in
24 California by 2020.

25 And today we've set up, after we go

1 through the initial introduction, we have set up
2 two panels. One from the utility grid management
3 perspective as what they feel storage's value and
4 also why there isn't more storage on the grid.
5 What are the barriers and what are the
6 institutional problems that we're having to get
7 more storage on the grid.

8 One of the challenges that we have that
9 we'll hear more about today is storage is not
10 generation, it's not load, it's both and it's
11 neither. And so for that reason it gets difficult
12 in how you site it, how you pay for it, and how
13 you collect revenue from it.

14 In the afternoon we have vendors and
15 manufacturers and associations that represent
16 those people talking about, from their
17 perspective, what storage can provide. And also
18 what we would like to find out from them why
19 California doesn't have a larger percentage of
20 storage in its mix. And what we can do.

21 And some of the previous research and
22 development we've done, there's an indication that
23 California needs a mixture of many energy sources.
24 Demand response, spinning reserve, frequency of
25 response, type of responses. And when you look at

1 the uncertainty of renewables there's a belief
2 that 10 to 15 to 20 percent of the renewable
3 resources should be backed up with some type of
4 storage to manage the grid effectively.

5 Now that's not a -- that's just a
6 planning number; it's an education number, a
7 research number. But it does seem to be fairly
8 valid.

9 And if that's true, in 2020 we're
10 looking at somewhere between 2000 and 4000
11 megawatts or more of storage that we need. And we
12 don't have anywhere near that amount. And most of
13 these things take a long time to get there.

14 So part of the discussion today is to
15 understand what kind of barriers we can address to
16 try to make that happen, if that's what we decide
17 and the state decides is needed to manage the grid
18 of the future.

19 And also we ultimately are looking for
20 where we can invest our research and development
21 time and efforts. I do come out of the research
22 and development division. We do fund research in
23 this area. So we're interested in prioritizing
24 where we go.

25 I would be remiss if not mentioning the

1 stimulus package. Right now, under the smart grid
2 stimulus package, which is in the process of being
3 released from the Department of Energy, there is a
4 large potential for funding for smart grid energy
5 storage utility-level projects.

6 And so we won't discuss that in much
7 detail today, other than to realize there is an
8 opportunity if we come out of here with some
9 actions to potentially respond to those actions
10 with stimulus funding.

11 There was a series of questions that
12 came through on the announcement. I won't cover
13 all of these, but it's generally -- and what I've
14 asked people to do is provide their responses to
15 the questions in the writing today. We will cover
16 all these questions throughout the discussions,
17 but not necessary question-by-question. The
18 intent is to cover these areas.

19 Basically they're asking the same types
20 of questions of the value of storage and
21 renewables. The challenges we have in doing a
22 business plan for storage. And the challenges we
23 have in getting the storage provider paid, and the
24 cost of ownership issues. And then just
25 understanding, from the perspective of the RPS,

1 what we have. So today's discussions are really
2 on those types of barrier issues.

3 Just to show you that we're talking
4 about, in this case today, mostly grid-connected
5 storage. We will hear from one provider that does
6 residential, this supports the Million Solar
7 Roofs. But most of the discussion today is going
8 to focus on distribution and transmission level
9 storage as opposed to customer site and
10 residential storage.

11 The reason I'm having them speak, in
12 particular, is they have had some incentives from
13 the PUC. And they have had some other types of
14 incentives. And they haven't had the success they
15 anticipated. So I'm curious, you know, to hear a
16 little bit. Sometimes the incentives seem to be
17 the answer, but when the incentives are approved
18 it isn't always the answer.

19 This just gives you a collage of the
20 types of technologies we generally consider when
21 we're looking here. I think everything is pretty
22 much covered from the perspective of what
23 technologies are on the table, even though, again,
24 we will hear a brief presentation later this
25 morning from EPRI where these technologies

1 currently reside.

2 And in the announcement we asked for
3 comments by the 9th, but I'm asking for an extra
4 week, so we would give you two weeks after this
5 workshop to provide written comments to us so we
6 can incorporate what we learned from the workshop
7 and incorporate the comments into the IEPR
8 document we prepare for that.

9 So, any questions before we start
10 forward from anybody here?

11 Okay, I'd like to introduce Kevin from
12 the PUC, who also wants to provide a little bit of
13 information from the PUC's perspective.

14 MR. DUDNEY: Good morning, everyone. As
15 Mike mentioned, my name is Kevin Dudney; I'm from
16 the CPUC, where I'm on the energy division staff.
17 I work primarily on procurement and resource
18 adequacy issues, so that's sort of the background
19 that I'm coming from.

20 And really what I'm here to do today is
21 to provide part of the regulatory background.
22 Specifically I've got two goals. First and
23 foremost, I'm here to listen. The PUC, at this
24 point, doesn't have a clear policy in relation to
25 storage.

1 Maybe you have some opinions on whether
2 we should, whether we shouldn't, what it should
3 like, you know, so come tell me how you think
4 current PUC processes or policies help or hinder
5 storage and what changes should be made there.

6 And then secondly I'm here to describe a
7 little bit how the IOU and CPUC procurement
8 processes work, you know, from the perspective of
9 the storage developers in the room. This isn't
10 the only way that you can paid for your product,
11 but this is one way. So, you know, I just want to
12 provide that perspective.

13 Talk a little bit about other CPUC-
14 related storage issues. We're, I think, mostly
15 focusing on integration of renewables today, but
16 there are some other programs going on at the PUC
17 that can be relevant.

18 And lastly, what questions does the CPUC
19 have, you know. As I said, we don't have a clear
20 policy framework here, so what questions are we
21 thinking about as we maybe move in that direction.

22 So to jump right into the CA-ISO and
23 CPUC procurement, every two years the three IOUs
24 do ten-year-forward plans called long-term
25 procurement plans that look at what does the

1 system need to operate reliably over that ten-year
2 timeframe. And then it's a plan to go out and
3 make sure that those resources exist and are on
4 the grid and available to the CA-ISO to reliably
5 operate the system.

6 So, an important part of the long-term
7 procurement plans is the energy action plan's
8 loading order. And currently storage doesn't fall
9 on that order. But there's a couple of places
10 where it can be tied in. So that order is energy
11 efficiency, demand response, the California Solar
12 Initiative/distributed generation in general,
13 renewables, and then lastly, clean fossil
14 generation.

15 The current round of LTPP plans, the
16 2008 round, is not actually doing plans. They're
17 doing, tackling policy issues right now. But it
18 is expected that the 2010 plans, which will get
19 kicked off probably later this year, will look
20 forward from 2010 to 2020 and talk about what does
21 the system need and how the IOUs will be involved
22 in getting that generation, potentially storage
23 technologies, to reliably operate the grid with
24 ever-increasing renewables being the background.

25 So, the PUC favors competitive

1 procurement processes. Most procurement that the
2 IOUs do goes through RFOs. And usually for new
3 generation the IOUs do periodic RFOs, specifically
4 focused on new generation. I guess I'm speaking
5 about fossil generation there.

6 The renewables picture is a little
7 different. Every year the three IOUs each do an
8 RFO for new RPS contracts. And then the -- after
9 the RFO, the utilities bring forward contracts to
10 the PUC for approval. And that's either done by
11 an application, in the case of fossil generation,
12 or through an advice letter for RPS. I don't
13 think we really want to get into the details of
14 what those are right now, but certainly come ask
15 me or any of the IOU staff if you have questions
16 there.

17 Now, a few other notes about that.
18 Right now, in the RPS RFOs, there's a placeholder
19 value for integration costs, which is currently
20 set to zero. But that could change in the future.
21 So, the cost of integrating renewables could be
22 affected by coordination with a storage project.

23 So the other CPUC programs that are
24 relevant. There is a current demand response
25 permanent load shifting pilot. Right now there is

1 some money out there for the IOUs where they're
2 authorized to spend the money. And some vendors
3 are going forward and looking for customers to do
4 some sort of thermal energy storage for peak load
5 shifting.

6 Once the vendors come back with proposed
7 contracts, again the PUC will make a decision.
8 And possibly authorize those projects.

9 Secondly, there's the self-generation
10 incentive program, SGIP, which provides an upfront
11 incentive for distributed storage.

12 And thirdly, there's an ongoing smart
13 grid rulemaking, which the rulemaking number is
14 0812009. And this is, to the extent that the PUC
15 is formally looking at storage right now, I think
16 this is the biggest umbrella right there.

17 And I would make an appeal to anyone who
18 wants to get involved in the PUC process right
19 now, this is a good place to start. There was a
20 smart grid workshop hosted by the PUC on Friday.
21 I think there were close to 150 people there. It
22 was very well attended.

23 There's a lot of topics in that smart
24 grid rulemaking. Storage is obviously closely
25 connected. Is storage going to be addressed in

1 the smart grid rulemaking? I don't know. It
2 could be. Again, I would encourage you to get
3 involved and make comments on that issue.

4 One possibility is that the smart grid
5 rulemaking could recognize a need for the
6 Commission to formally consider storage and kick
7 off a new storage focused rulemaking. So that's a
8 possibility. It is the right answer? I don't
9 know. It's one answer.

10 Lastly, some unanswered questions from
11 our perspective. The CPUC has a tendency to do
12 things in sort of different boxes. I mentioned
13 this with the energy action plan loading order.

14 What box does storage fit in? I think
15 there's a lot of right answers to this question.
16 It probably varies depending on the technology,
17 the application, which box is appropriate. A lot
18 of applications might fit within multiple of these
19 boxes.

20 What I have in mind when I'm talking
21 about these boxes are renewables, demand response,
22 distributed generation, conventional generation,
23 transmission and distribution, ancillary services.
24 There's a lot of ways to conceptualize this.

25 Does there need to be one answer? I

1 don't really thing so. But does there need to be
2 a clearer answer? Yes. I think there is a need
3 for that. So, again, I would encourage you to,
4 you know, come talk to me today and tell me what
5 you think that answer should look like. I don't
6 sit in the part of the organization where I can
7 make policy promises, but I will listen to get
8 ideas.

9 Second question, what is the capacity
10 value of storage. I think this probably depends
11 on a lot of characteristics of the specific
12 projects. Particularly the location, you know.
13 If the storage facility is on the site of a wind
14 farm, then the storage might operate to smooth the
15 production there. And there would be one capacity
16 value associated with that.

17 Is that the optimal capacity value? I
18 don't know. From a systems perspective it might
19 be more optimal. I've seen studies that suggest
20 this, to locate the storage elsewhere on the grid,
21 and then have it match not just the intermittent
22 profile, but also the profile of the load.

23 From a capacity valuation perspective in
24 the RA program, resource adequacy I mean, RA, that
25 second possibility is sort of harder to

1 conceptualize. It doesn't fit within any of the
2 existing protocols that we have for resource
3 adequacy accounting rules.

4 So if there's a storage project that
5 wants to go down that road, if it wants to tap
6 into a potential resource adequacy value stream
7 this is a question that the PUC needs to address
8 in the future.

9 Lastly, the simple question of how to
10 compare alternatives. I'm not sure that there's a
11 clear answer here from the PUC's perspective on
12 storage. For example, if there's a storage
13 technology that can respond more rapidly than AGC
14 -- control, is that more valuable? Some argue
15 yes. Is there a market that values that higher
16 response right now? Not that I'm aware of in
17 California.

18 So, that's it for my remarks. So thank
19 you all for your attention. There's a number of
20 PUB Staff members in the room today besides
21 myself, so that's a signal that this is an issue
22 we're interested in. So if you have answers to
23 some of the questions that I've posed. If you see
24 problems or potential solutions out there in terms
25 of the policies or processes that the PUC is

1 involved in, let us know. We'll keep thinking
2 about it. Thank you.

3 MR. NEFF: Next is a presentation from
4 EPRI by Dan Rastler. I want to take this moment
5 to remind you that if you're not speaking into the
6 microphone the online audience is going to have a
7 hard time hearing what you have to say. I'm
8 pretty sure they're going to want to hear that.

9 MR. RASTLER: Thank you. Good morning,
10 everyone. And thanks Mike and to the Energy
11 Commission for the opportunity to provide a little
12 bit of an overview of what's currently in play in
13 the energy storage portfolio to sort of set the
14 foundation for our follow-on discussions on
15 barriers and opportunities for advancing storage
16 within the electric enterprise.

17 So I've been asked today to sort of lay
18 out, in a very short time, sort of what's
19 currently in play. And I'm going to try to give a
20 snapshot of some of the technologies we're
21 currently looking at, and some of the technologies
22 that we see are in the pipeline, which I think
23 will be available in the next two or three years,
24 certainly within the timeframe of California's RPS
25 goals that we need to be thinking about, and how

1 they fit in.

2 I also look forward to participating a
3 little bit later on on the industry panel talking
4 about barriers and constraints. I won't touch on
5 these at this point.

6 Okay. This slide summarizes some of the
7 drivers that we hear from our electric utility
8 clients. And EPRI represents now about 90 percent
9 of all the electric generation, or electricity
10 sold in the U.S. And we're also getting a lot of
11 input from our international clients or members in
12 Europe and in Asia, who are also very keen on
13 energy storage.

14 But these five bullets sort of summarize
15 some of the key drivers, particularly here in the
16 U.S., that we're hearing from our members. Time
17 and time again it's coming up how do we manage
18 this increasing amount of variable wind
19 penetration.

20 You know, the electric sector emits
21 about 30 percent of the nation's greenhouse gases.
22 And so renewable, a full portfolio is going to
23 really be needed to reduce that. And renewables
24 are visioned to be a really important part of
25 that. So how does storage really enable this, and

1 how does storage really enable more renewable
2 penetration?

3 Finally, another item is the ancillary
4 services area, and I'm sure you're going to hear a
5 little bit more about that later today, but
6 currently these services are being met by the
7 cycling of thermal power plants, which is really
8 not a terribly efficient way to use a thermal
9 power plant.

10 And so we're seeing a lot interest in
11 exploring how storage can support that and avoid
12 those cycling plants, as well as the values of
13 improved greenhouse gas reduction.

14 Managing the grid peaks, managing peak
15 demand and peak load is a huge problem for the
16 electric sector. They spend billions of dollars
17 for managing, for putting the infrastructure
18 that's really only used for 400 or 500 hours a
19 year.

20 And, of course, delivering power in a
21 reliable way, and maintaining reliability. And
22 having options for outage mitigation are really
23 important.

24 The next wave of renewable penetration
25 is expected to be photovoltaics, both in large-

1 scale utility systems, as well as distributed
2 systems. And the question of how to storage
3 really support these new investments is of prime
4 interest.

5 And finally, how does this all play out
6 into the smart grid. And I'm not going to be
7 talking about smart grid today, but certainly as a
8 distributed asset within the grid infrastructure,
9 storage is viewed to be one of the essential
10 assets in really enabling this whole vision of
11 smart grid and delivering robust lower cost power
12 and reliable power to the end users.

13 This lays out the locational
14 opportunities for storage throughout the electric
15 value chain, both in the bulk storage area,
16 regulation services. Looking at distributed
17 systems, systems that would fit in the substation.
18 And then down more into the commercial sector,
19 either on the customer's side of the meter or the
20 end-use side of the meter. And, of course, all
21 the way down to the residential area.

22 So I'll be talking about a little of
23 these today and trying to give you a snapshot of
24 where some of these are, some of the applications
25 we're seeing. And certainly not to -- you'll be

1 hearing from some of the specific vendors in more
2 detail on each of these. So I'll just try to
3 cover these pretty quickly.

4 This is a chart that's been out there
5 awhile, sort of a positioning chart of where
6 storage fits in. And I know there's a lot of
7 interest in this meeting about utility-scale
8 storage. So we tend to think about bulk, bulk and
9 grid support, as the heavy lifting both in power
10 and in energy.

11 Utilities like hundreds of megawatts,
12 you know, for hours. That's the kind of heavy
13 lifting that's really needed. But there's a
14 number of storage applications and a lot of
15 different technologies and each fit into certain
16 applications.

17 And I think you'll hear later on, it's
18 the need to monetize a number of benefit streams
19 here, different applications that really are
20 really important.

21 In the bulk area we're particularly
22 interested in pumped hydro and compressed air
23 energy storage. And I'll talk a little bit about
24 those particularly.

25 In the grid support area we're seeing

1 adoption, really, occurring within the utility
2 sector. Starting to look at how megawatt class
3 storage systems can start to support utility
4 infrastructure. And that will also play into
5 renewables.

6 And then I'm not going to talk too much
7 about power quality and the smaller power ratings
8 and the short duration. Those are also very
9 important for ride-through power quality UPS.
10 They could be technologies that will play into the
11 frequency regulation market and applications.

12 And there's just another note here,
13 there's still a lot of R&D needed to advance a lot
14 of these technologies to get them to appropriate
15 cost points. And there's a lot of technologies in
16 the pipeline that I don't have on this chart that
17 are emerging that are still in the R&D phase. And
18 I'll touch on those in a little bit.

19 One area that we're particularly looking
20 at is just the lithium ion batteries. These are
21 the systems that are going to be in plug-in hybrid
22 vehicles. And I'll show a little graphic later on
23 that the electric vehicles and the PHEVs are
24 coming. They're going to be coming in full force.

25 So the question is how might these

1 batteries play in, taking advantage of the large
2 volumes of volume manufacturing that's going to be
3 a place to support the transportation sector. And
4 could there be a cross-application in the
5 stationary power sector. So I'll touch on that a
6 little bit.

7 Well, what do we have here today? It's
8 primarily the largest storage technology we have
9 that's in play in the U.S. is pumped hydro. And
10 here we're showing PG&E's Helms facility, 1.2
11 gigawatts. And nice graphic picture of TVA's
12 Raccoon Mountain.

13 And this really, you know, not really
14 exotic technology, but it works. The challenges
15 are the long lead time in permitting, getting the
16 environmental compliance and finding the
17 appropriate reservoirs and geology to really make
18 this work. And it still is a technology that
19 utilities are taking a serious look at, because it
20 is a proven technology. It's just a long lead
21 time technology.

22 We're not doing too much in pumped
23 hydro, but we are going to be looking at it. It
24 did come up in our last advisory meeting.

25 This slide shows what our current

1 portfolio looks like. Not to say that we're not
2 interested in everything that's on the earlier
3 charts, but with our resources we're looking at
4 compressed air for the bulk storage areas. We're
5 looking a variety of large battery systems for
6 grid support. And looking at lithium ion for more
7 of the distributed and the frequency regulation
8 applications.

9 Just a little note on compressed air.
10 This is a second generation cycle. This is one of
11 the few new options we have in the bulk storage
12 area that looks reasonably cost effective.
13 Estimated to be about \$800 a kilowatt; overnight
14 in construction with some caveats that, you know,
15 there may be other permitting owner's costs.

16 But there hasn't been a plant like this
17 built yet, so we're moving forward with the
18 collaborative to really demonstrate something on
19 the scale of 400 megawatts ten hours. It's
20 expected to have a much improved heat rate. This
21 does still use natural gas, so it's not carbon
22 free. But it's a high efficiency cycle, so it has
23 a higher efficiency. And it's expected to have a
24 lower capital cost than some of the earlier
25 compressed air cycles that were done about 20

1 years ago.

2 There's also -- so let me just back up.
3 This is, for those of you who don't know this, you
4 take off-peak power, store air into the ground in
5 a storage area, and then during the peak you take
6 that air back out, heat it up, expand it, and put
7 it right into a conventional gas turbine. So this
8 is an underground storage.

9 There's also an above-ground version
10 that we're looking at, sort of a mini version, 15
11 megawatts, two hours. Here the air is stored in
12 pipes, so you need a little bit more of real
13 estate.

14 So those are some of the options we're
15 looking at with compressed air. And we are seeing
16 a lot of interest, industry support in advancing
17 demonstrations of these, which should happen
18 within the next couple years.

19 And these, particularly the large case,
20 will be one of the leading options that could
21 support large amounts of wind penetration.

22 In terms of R&D on compressed air, this
23 is a little bit more long term, looking how do we
24 get away from the fuel, and their so-called
25 adiabatic cycle that doesn't require natural gas

1 as a fuel. Still probably about four or five
2 years away in first demonstration.

3 So one of the other areas that is
4 interest for storage is supporting large
5 penetrations of photovoltaics. And, you know,
6 solar's great until the clouds go over the panels.
7 So here's a profile of what the variable power
8 might look like at fairly large PV arrays. So
9 we're looking for smaller storage systems that
10 could mitigate these fluctuations.

11 Sort of quickly now, a snapshot of some
12 of the technologies that are in play that can be
13 deployed today, and then a look at some of the
14 ones that are in the pipeline.

15 Sodium sulfur batteries being deployed
16 significantly in Japan. Many installations in the
17 U.S. Electric utilities are starting to adopt
18 these. Very robust technology, long cycle life,
19 heavy lifting. They come in modules of 1
20 megawatt, seven hours. So putting a number of
21 these together you can start to get into
22 significant utility applications.

23 We have a project on Long Island with
24 New York Power Authority in a customer peak-
25 shaving application. American Electric Power in

1 Ohio, and their ADP West in Texas have announced
2 plans to put significant amount of these batteries
3 in their territory.

4 Next in the pipeline and sort of gaining
5 utility consideration is a family of flow
6 batteries. This happens to be a zinc bromine flow
7 system being designed and offered by Premium
8 Power. It's half a megawatt, two megawatt hours.
9 It's transportable, so it can be brought into
10 urban load centers. It can be put out in
11 different perhaps wind applications. And scalable
12 through a number of regions.

13 So, we're seeing quite a bit of utility
14 interest in the idea of having a transportable
15 system that can be put out in the grid and
16 moveable, particularly for T&D grid support
17 applications.

18 ZBB has similar technology, more for
19 distributed applications, but certainly capable of
20 being scaled up. And the systems, again, here are
21 positioned for early field demonstrations and
22 deployment.

23 Vanadium redox is another flow system.
24 There has been a large system, 250 kilowatt, two
25 megawatt hour, installed up in Utah there at

1 Council Rock. It can also be deployed in wind and
2 distributed applications.

3 There's been some restructuring going on
4 with the company. We're still waiting to hear
5 about product availability, but certainly this
6 technology could be available within the next few
7 years for both bulk storage and distributed
8 applications.

9 There are also a number of flow battery
10 systems in the R&D pipeline. So-called redox
11 couples, zinc air, aluminum air, iron chlorine,
12 even zinc chlorine. Zinc chlorine technology EPRI
13 looked at about 25 years ago. Very low cost, but
14 as you can imagine, dealing with chlorine.

15 Hydrogen bromine, and actually even
16 hydrogen air. Just on a call yesterday with NREL
17 who's looking at a hydrogen air system, sort of,
18 making hydrogen offpeak and storing that in the
19 ground instead of air. And trying to understand
20 the economics of that.

21 So these are all going to continue to be
22 vetted and assessed and evaluated and
23 appropriately demonstrated to show their overall
24 viability.

25 Got to come back to lead acid batteries.

1 Talking with some of my colleagues here. You
2 know, EPRI did a, I think, a 20 megawatt, four
3 hour, lead acid battery with Southern California
4 Edison about 20 years ago.

5 Lead acid is still in play, and there's
6 advanced lead acid technology that looks like it
7 can address the cycling issues that have hindered
8 lead acid systems from being deployed. So we're
9 very interested in looking at technologies, for
10 example, here by Xtreme Power, one megawatt, four
11 hour system. And currently in discussions with
12 several of the investor-owned utilities in
13 California to see if we can position this type of
14 system at some of the sites eligible for SGIP.

15 You're going to hear probably a little
16 bit more about the frequency regulation
17 opportunities. This has been identified and
18 caught the eye of a lot of people. It's the low-
19 hanging fruit. You can make money, I think we can
20 make money with this application.

21 There have been some early trials by
22 both AltariNano and A123. Here they're using
23 lithium ion battery technology, packaged in
24 megawatt modules. So it's megawatts for minutes
25 of duration. Again, to serve this frequency

1 regulation market.

2 I should mention a lot of the other
3 lithium ion batteries are sort of -- companies are
4 sort of catching an eye on this and wondering, is
5 this a market we ought to go after as a way to
6 kind of expand the production into the stationary
7 area.

8 Flywheels. Certainly another of the
9 options. Again, positioned primarily for high
10 power, short duration. And looking at the
11 frequency regulation market. Here's a Beacon
12 Flywheel system, 100 kilowatts, 15 minutes;
13 Pentadyne, a local California company, has got a
14 500 kilowatt power system, again around 15
15 minutes.

16 Beacon Power's business model is to own,
17 operate and sell the services. So, they're
18 building megawatt class facilities to participate
19 in that market.

20 As I said, got to really look at also
21 what's in the pipeline and what's in play. And
22 particularly this lithium ion technology.
23 Tremendous amount of factory production already in
24 Asia, but quite a few U.S. companies positioning
25 themselves in the U.S. to make these systems;

1 taking advantage of the stimulus package and need
2 for jobs. And just a tremendous amount of work
3 going on in this area.

4 So potential for cost reduction, I
5 guess, is one message. And numerous applications.
6 It's probably not going to be a 400 megawatt, ten
7 hour system. But certainly could be multi-
8 megawatt class. And perhaps cost effective enough
9 to really fit more into the distributed areas.

10 One application we're looking at is the
11 so-called community energy storage idea. Here
12 depicted by American Electric Power. But of
13 interest to a number of utilities. And this is
14 putting maybe 50 kV storage systems out in the
15 neighborhood to sort of support the local
16 community. Could also support photovoltaics,
17 obviously, in that community.

18 And, again, perhaps how storage might
19 support distributed PV. A lot of what we hear
20 from our western utility members is the need to
21 have a load shift between 4:00 in the afternoon
22 and 8:00 at night. So, storage positioned either
23 on the customer side of the meter or the utility
24 side of the meter could support that issue.

25 So the PATVs and electrics are coming.

1 Just another shot here of a lot of activity in
2 play. And certainly not going to talk about
3 things like vehicle-to-grid or things, but the
4 battery technology in here may have a play in the
5 stationary market applications.

6 And finally, superconducting magnetic
7 storage. Again, a lot of power in a short
8 duration. An area of R&D is looking at some of
9 the new technology and materials that would make
10 these perhaps a very large system that could be
11 deployed as a bulk power option. Again, probably
12 a few years away, but the technology is here today
13 for very short duration power quality
14 applications.

15 How are we doing on time? Few more
16 minutes?

17 MR. NEFF: Yes.

18 MR. RASTLER: This is a little bit of an
19 eye chart. We are trying to get our hands around
20 the costs of these systems, and it's very
21 difficult. It's a moving target, and it's very
22 difficult to compare technologies on a consistent,
23 objective basis.

24 But what I've provided here is sort of a
25 snapshot of where we see projected systems. I

1 would say that the current systems are probably a
2 little bit more expensive than some of these
3 numbers. Projected systems mean sort of a
4 reasonable volume of deployment.

5 And I won't spend a lot of time on this.
6 I'll have some remarks a little later in terms of
7 barriers, but certainly we need to see capital
8 costs lower. We need to see the technologies, the
9 life cycle costs analyzed. And we need to see the
10 value analyzed. And that, I think, will help
11 address some of the barriers to more deployment of
12 these systems.

13 Finally, just a list of the markets and
14 applications that we're particularly interested
15 in. Certainly wind integration is one of the
16 keys. And I would say we really need to
17 understand this a lot more. And I'll have some
18 remarks a little bit later, how does storage
19 enable more wind penetration.

20 And, again, who owns it, and is it a
21 generator, does a third party? And how do we
22 monetize a lot of the various value streams that
23 can come to various stakeholders.

24 With that maybe I'll have a little time
25 for questions, if we have, or look forward to

1 further discussions on the industry panel.

2 Any questions? Yes, sir.

3 MR. LYONS: Thanks. Chet Lyons with
4 Beacon Power. Dan, I saw you mentioned that
5 Pentadyne had a flywheel 500 kW that lasts for 15
6 minutes. I think it's under one minute. Just a
7 point of correction.

8 MR. RASTLER: Yeah, thank you. And it's
9 still in the R&D phase. I think there's some
10 things they can play around with that. So, thank
11 you for that.

12 MR. LYONS: Yes.

13 MR. NEFF: Okay, thank you.

14 MR. MICHEL: Hi, I'm Dave Michel. Mike
15 Gravely will be back in a few minutes. He's
16 covering another meeting at the moment, but he
17 should show up in a few minutes.

18 At this time we're going to move on to
19 the panel discussion. And we'd like to go around
20 that panel and have some introductions. Tom, do
21 you want to start?

22 MR. BIALEK: Yes. Tom Bialek, San Diego
23 Gas and Electric.

24 MR. MONTOYA: Mike Montoya, Southern
25 California Edison.

1 MR. JOHNSON: Walt Johnson, California
2 ISO.

3 MR. THALMAN: Jon Eric Thalman, Pacific
4 Gas and Electric.

5 MR. RAWSON: Mark Rawson, Sacramento
6 Municipal Utility District.

7 MR. FIORAVANTI: Rick Fioravanti, KEMA.

8 MR. CAZALET: Ed Cazalet, MegaWatt
9 Storage Farms. We're an independent developer of
10 storage technology.

11 MR. RASTLER: Dan Rastler of EPRI.

12 MR. MICHEL: So, our first speaker on
13 the panel is Walt Johnson with the Cal ISO.

14 MR. JOHNSON: Thank you, Dave. I'm
15 going to just briefly touch on a few sort of
16 bullet points here with particular reference to
17 how the storage systems are potentially of
18 interest to the ISO and some of the failures that
19 we see.

20 I should start by prefacing this that
21 again, my name's Walt Johnson. I'm principal for
22 technology strategies at the ISO. And we're
23 primarily in smart grid and demand response, but
24 I'm channeling for one of our storage experts
25 today.

1 Of course, I expect that we're going to
2 hear, and we've heard some already, regarding the
3 value of storage for the system, as a whole. And
4 I think it's going to be revolutionary
5 potentially. It's not just a new kind of
6 generation or a new kind of demand, if you will.

7 But the value of it for peak shifting or
8 demand shaping, and potentially the value for
9 renewables integration, or what we might call
10 supply shaping, is a topic I know we're going to
11 be hearing more about.

12 So I'm going to move on and address a
13 couple of the market-related aspects that I think
14 could be of interest. Starting with the ancillary
15 services market, which was touched on.

16 The capacity payments from that market
17 are potentially an interesting revenue stream for
18 storage. Except that under the current system the
19 use of storage, or in fact, any nongeneration
20 asset is generally difficult in those markets.

21 Spinning reserve can only be provided
22 under the WECC rules by unloaded generation.
23 Nonspinning reserve can also be provided by
24 interruptible load. But storage is not a resource
25 which is explicitly in one of those categories.

1 The PUC's point that what box do we put it in.

2 We are currently working internally
3 because on multiple occasions FERC has ordered the
4 ISO to change its tariff so that it can enable
5 comparable treatment of supply side demand
6 resources for providing AS, and think that storage
7 should also be allowed.

8 The difficulty is that at this point
9 WECC has not taken any action and is not planning
10 on action on that topic, although there had been
11 some discussion awhile ago. But that seems to
12 have died out.

13 Unless we have some new definitions or
14 standards regarding the AS projects, and how they
15 can be served by nongeneration assets, this is
16 going to be a difficulty for us.

17 FERC, in fact, explicitly directed us
18 that if we had an issue with WECC on this that we
19 should file a complaint against WECC before FERC
20 in order to try to move things along.

21 Short of doing that, we have been
22 discussing internally whether we can file a tariff
23 revision that would violate the existing WECC
24 reliability standards. That causes our
25 operational people a certain amount of grief as a

1 concept.

2 It is possible, though, if you read the
3 sort of fine print at the end of the standard,
4 that we could be excused for noncompliance with
5 the WECC criteria if that noncompliance stems from
6 compliance with an action or applicable law or
7 regulation that is imposed by a government
8 authority.

9 So we could presumably operate, or
10 change our tariff, and still not be subject to
11 difficulties with WECC. But the right course, I
12 think, is to actually have the WECC standards
13 revised. And we'd love to see that happen.

14 We are working internally on a policy
15 statement and activity to try to get that
16 resurrected at the WECC. But I think until that
17 happens we're going to have struggle with trying
18 to get load or storage or any of these new
19 technologies into the AS markets, and get those
20 capacity payment streams available for those
21 people.

22 The second topic I'd like to touch on
23 briefly is on the value of locational pricing and
24 the new market rules which we're currently 36, 35
25 hours into in California. Went live a little

1 while ago.

2 And under those new rules generation is
3 settled at the locational marginal price, at the
4 pricing nodes. But load is settled at the load
5 aggregation price. Meaning it has significantly
6 less locational value.

7 The opportunities for arbitrage in the
8 energy market that may be available to a storage
9 vendor who's trying to balance or arbitrage high
10 and low prices intra-day may be somewhat
11 compromised by this asymmetry in the way the
12 settlement process works.

13 I'm not really sure about the
14 implications of this, but if the battery or the
15 storage unit is acting as a generator, presumably
16 it's going to be settled at the LMP when it's
17 taking service from the grid to charge itself, it
18 will be settled at the LAP, which may not be the
19 most beneficial structure. But that's the way
20 we've gone live with it, and that's the way the
21 current rules are written.

22 Finally, I'd like to just indicate that
23 there are a number of questions about the
24 operation of a storage system within the grid that
25 we do not have answers to. And we have a fairly

1 extensive R&D program proposed that will answer --
2 and I'll read a list here of some of the topics
3 that we believe we need to investigate before
4 we'll be able to accommodate storage adequately.

5 First off, we aren't sure if our EMS
6 system will support the sending of negative
7 setpoint numbers to energy storage facility, if
8 that makes sense. We have to look at that.

9 We want to look at how some other ISOs
10 and RTOs, who are slightly ahead of us in terms of
11 filing tariff with some of this, are actually
12 doing that integration.

13 We aren't sure whether or not we can go
14 -- how much pilot activity we're going to need to
15 do it, if we can go direct to market strategies
16 for integrating some storage. I know that we want
17 to get this moving quickly.

18 We aren't sure of the communication
19 mechanisms that are going to be required. If
20 we're going to use the same ones that require for
21 generation, like the rates in DPGs. Basically the
22 DMP protocol stuff, or ICCP, or where these are
23 going to be integrated or communicated with. What
24 the interconnection procedures will be. Will be
25 the same as the SChip or will be something

1 different.

2 Certification procedures for storage to
3 provide AS. Those are all written around
4 generation, as it is now. Is the locational value
5 of energy storage in the nodal market different?
6 Is it not really a load or not really a generator,
7 but something else?

8 For example, the topic of fast
9 regulation was mentioned. We have no way of
10 valuing that right now. That's not the structure
11 -- or not one of the markets that we have.

12 I'm not going to touch -- our focus here
13 is on the utility-scale stuff, so there are some
14 questions we have about plug-in hybrids and other
15 smaller scale stuff. But I'll leave that aside
16 for the moment.

17 We do have some R&D projects in the
18 works. We expect to report out some of those by
19 this fall. But there's a lot more work that needs
20 to be done before we understand how these systems
21 can play, both technical and, of course, as I
22 alluded to earlier, market or reliability issues
23 that have to be settled.

24 I'll leave it at that for now and be
25 interested in hearing the rest of the comments.

1 Thank you.

2 MR. NEFF: Thank you. Next, Jon
3 Thalman.

4 MR. THALMAN: Hi. My name's Jon Eric
5 Thalman, Manager of strategic and technical
6 services at PG&E. I just want to provide an
7 overview of the PG&E perspective on energy
8 storage. And appreciate the CEC providing this
9 opportunity and bringing together interested
10 people today.

11 As has been touched on, energy storage
12 has the potential to greatly increase the
13 reliability, dispatchability of the energy supply
14 we have in California.

15 In the pursuit of this there are several
16 challenges; I'm sure I won't be the last one to
17 touch on these today. With our push towards
18 increased renewables we have this need to smooth
19 out the intermittent characteristic of a lot of
20 those renewable resources.

21 At the same time there's a need Walter
22 talked about with ancillary services; managing
23 peak demand, which was touched on, Dan; and
24 there's also just relieving transmission and
25 distribution congestion, which is a key interest

1 for both ratepayers and utilities.

2 With all these varied interests there's
3 opportunity and there are challenges. As was
4 mentioned by Kevin, we tend to -- in this industry
5 we tend to look at things in pockets and buckets.
6 And here we have a technology or a fleet of
7 technologies that cross all those buckets.
8 There's a great advantage there, but then there's
9 a challenge, right. Because we can't -- it
10 doesn't fit into the way we do business as an
11 industry. And Walt talked about some of those
12 challenges, which are very real.

13 At the same time we're losing the
14 technology that covers all the possible and
15 potential functional capabilities and categories.
16 And so from a utility perspective, and probably
17 from an operator perspective, we look at
18 portfolios of these, and what technologies match
19 closely, and which ones cross over, cover a
20 multitude of needs.

21 And that leaves the next point and that
22 is with the high cost of current technology of
23 energy storage. Of course, we're all very
24 optimistic that it will come down as we go down
25 this road. But the high cost today, when you're

1 looking at implementing this, you have to look at
2 a wide variety of values.

3 And you say, well, you know, if you have
4 energy storage option and technology, well, let's
5 try to fit this into our current construct of the
6 utility role, this is transmission or this is
7 distribution or this is generation. Okay, let's
8 do that just to get going on this.

9 And if you do that, and you look at
10 trying to evaluate the benefits, you end up
11 looking -- we need to bring more value streams.
12 And in doing that you're crossing back over, --
13 these buckets.

14 So these are the challenges we see from
15 a utility perspective. You have to look at
16 multiple benefits when you start doing your -- to
17 make these things cost effective. And that goes
18 back against the challenges with the way we do
19 business today with buckets.

20 So, with that said, PG&E feels that the
21 successful deployment of energy storage will
22 depend on our meeting five main challenges versus
23 technology readiness.

24 There's a lot of technologies that were
25 reviewed by Dan that are very far along. There's

1 a lot of other promising ones like -- towards
2 lithium ion that are not as ready. But yet we
3 would like to see them move along for obvious
4 reasons. So technology readiness is a real
5 challenge.

6 As I mentioned previously, improving the
7 cost economics and understanding the benefits,
8 this is a very real challenge when you're looking
9 at making a utility level investment. Not to
10 mention going to FERC or the PUC or to explain
11 what you're doing with ratepayer revenues.

12 So, helping to understand those
13 benefits. Walt talked about, you know, the
14 markets are not set up. We look at benefits on
15 the market side that might be helpful. But how
16 can you really quantify those? How can you really
17 say, okay, if you do this energy storage project,
18 you will reap these benefits?

19 You can talk about potential benefits,
20 but when it comes time to make an actual project
21 go, you have to admit that, well, these are
22 potential benefits. And that doesn't create as
23 much for you then in your cost analysis, cost/
24 benefit analysis.

25 As a result we look at, okay, what are

1 some of the other funding options to help
2 demonstration of emerging technologies? And I
3 think that's why we're met here today, as we
4 consider the IEPR and the statements that'll be in
5 that, as Mike teed up.

6 There's a need for us to -- should look
7 at alternative ways of funding. Have the ARRA,
8 the stimulus package that's a very nice -- at this
9 time in the economy that was -- this emerging
10 technology needs some attention.

11 And at the same time that funding needs
12 to find some priorities. Do you view the funding
13 should be pointed towards established, long lead
14 time technologies? We're not looking at a flash
15 in the pan here. We're not looking for a quick.
16 This is -- sometimes it hurts us, as an industry,
17 that we're a little slower moving, really more
18 conservative. But I think at the same time we
19 need to, there's a part of that we need to stick
20 with. And that is that the funding, and so want
21 to make a point here that as we look towards the
22 funding that's available for helping demonstration
23 projects, we need to take an eye towards long lead
24 time and proven technologies, more established
25 technologies.

1 And then the final point, the fifth
2 point, Walt said it better than I can, that the
3 market rules and policies recognizing storage,
4 benefit streams are very important. We have some
5 rules with the way we run the grid today that seem
6 prohibitive. And we need to address those, both
7 at the CEC level, PUC level, ISO rules.

8 So those are -- plus that PG&E feels
9 that our key is -- energy storage.

10 MR. NEFF: Thank you, Jon. Moving on
11 down the line we have Michael Montoya from
12 Southern California Edison.

13 MR. MONTOYA: Good morning, everybody.
14 My name's Michael Montoya from Southern California
15 Edison. I'm director of grid advancement and
16 transmission and distribution business unit.

17 Today I'm going to talk a little bit
18 about energy storage. First of all, we believe
19 it's going to be critical for integration of
20 intermittent resources. One of the issues with
21 it, though, today that really hasn't been cost
22 effective. There are also integration issues that
23 we have in properly getting them connected to the
24 electric system. There's a lack of proper system,
25 lack of models so that we can properly integrate

1 them to the system.

2 And there's really a lack of real world
3 experience at the utilities, in particular us. We
4 did have a very large battery project 20 years
5 ago, but we have not done one since then.

6 And we also see that further system
7 studies are going to be needed, you know, effects
8 on ramping and regulation. You know, where's the
9 optimal location for storage? What are the power
10 quality issues going to be? You know, any time
11 you have inverter technologies there are a
12 possibility of power quality issues. I'm not
13 saying that there is, but we need to look at that.

14 We need to look at, okay, where is the
15 additional transmission in the state going to be
16 needed to bring the renewable resources into this
17 system. And where can storage help with stability
18 in local issues?

19 And then also on generation, you know, I
20 don't know this, but there's a possibility that
21 we're going to have to operate our hydro and
22 fossil generation differently maybe; maybe not.
23 But if we do, what are the effects going to be on
24 them? And how are we going to mitigate those
25 effects?

1 And then optimally we're going to look
2 at, from a wide area of monitoring and controls
3 perspective, if you have all this storage
4 technology deployed across the California systems,
5 how are we going to make sure that we optimize the
6 bulk power electric system along with all the
7 storage technologies out there, and make sure that
8 we don't compromise the operation of the electric
9 grid.

10 Some of the efforts that we have going.
11 We have electrical vehicle technical center that
12 President Obama visited the last couple of weeks.
13 We're looking at advanced battery technologies for
14 EVs and PHEVs. Stationary batteries, PV solar
15 integration and PEV testing. And we have over 300
16 vehicles in SCE's fleet that are electric. And
17 I'll get into a little bit more about the electric
18 vehicle center, technical center, in a minute.

19 We're also having discussions with the
20 CEC and EPRI on the 15 megawatt aboveground
21 compressed air storage project. And also talking
22 about using the ARRA funds. The issue with the
23 ARRA funds is that typically when the DOE gives
24 money out to people that are applicants, there is
25 a matching funds needed to win those funds. And

1 so there is a gap there where we need, as a
2 regulated utility, to have an ability to have
3 those funds to match the ARRA funds.

4 We also have applications before the
5 California Public Utilities Commission for
6 renewables integration program so that we can
7 study how we can interconnect storage technologies
8 and gather data on planning and operational
9 effects of the storage data. And really to gather
10 real-world experience.

11 And, of course, we have our solar
12 rooftop project that's proposed to have 250
13 megawatts of PV connected to the distribution
14 system. And we also want to look at what are the
15 effects down at the distribution level, and what
16 are we going to have to do for planning and
17 operations of that in the future.

18 The garage of the future. We've got one
19 to three kilowatts of photovoltaic panels. We've
20 got charging station for plug-in electric vehicle
21 charging and discharging. So we're looking at how
22 that will affect the batteries in the electric
23 vehicle.

24 We got home energy storage device. And
25 then a load bank that we can load all of these

1 energy sources up to 9 kW.

2 The other efforts that we're working on
3 is we're working with WECC load modeling task
4 force on inverter models. We want to insure that,
5 or we want to simulate dynamic response and system
6 voltage at frequency transients on the system so
7 that we can properly integrate those technologies.

8 We're working with a variety of other
9 folks on wind machine models so that we can
10 accurately look at both steady state and transient
11 behavior of the wind generation facilities.

12 And we're deploying phasor measurement
13 systems for other reasons. But we think that we
14 can use this high-speed data to look, once we get
15 storage technology deployed, to look at how it
16 operates and get much better data than we're
17 getting today on that.

18 And to also validate any modeling that
19 we do to insure that the models are going to
20 represent what's going on in the electric system.

21 The conclusions is to get real-world
22 experience. You know, we're going to need funding
23 in one way or another, because these things are
24 very expensive. We need to study the integration
25 issues and develop wide area controls. And look

1 at the generation and the effects of integrating
2 all of these different resources to make sure that
3 the performance doesn't degrade on the electric
4 system.

5 So, thank you.

6 MR. NEFF: Thank you. Next we have Mark
7 Rawson from SMUD.

8 MR. RAWSON: Great, thank you. I want
9 to touch on some of the points that have been
10 mentioned here a little bit, maybe with a little
11 more emphasis on why SMUD believes that storage is
12 going to be absolutely imperative in how we
13 operate our system going forward into the future.

14 But not just bulk storage, distributed
15 storage, we touched a little bit on that earlier.
16 So I want to show a little information that we've
17 collected on how our PV systems have impacted our
18 particular utility.

19 And talk about some of our plans going
20 forward with both distributed and bulk storage.
21 And kind of our approach to getting at a point
22 that Dan brought up about location. And how to
23 value the benefits of storage from a locational
24 perspective.

25 I wanted to start, though, and just make

1 a couple points about drivers. In December of
2 2008 SMUD's board modified a core value we have
3 relative to resource planning about sustainable
4 energy.

5 We redefined that to set a particular
6 target for SMUD to get to about 10 percent of our
7 1990 CO2 emission levels by 2050. This is a very
8 aggressive target for us to accomplish. And I
9 think I'm a little bit relieved that it'll be
10 after my career, if we're successful in getting
11 there.

12 (Laughter.)

13 MR. RAWSON: But we need to figure out a
14 way to do it that insures that we're going to have
15 a reliable system, and that we're being good
16 stewards of the environment. While, at the same
17 time, you know, being competitive and keeping our
18 prices low for our customers.

19 So this graphic, to me, is pretty
20 daunting in showing kind of where we are here
21 today on the left-hand side when we look at what
22 AB-32 is going to look like for SMUD.

23 As part of that revision to our
24 sustainable energy goal, SMUD has adopted a 33
25 percent RPS by 2020. We're happy to say that

1 we'll meet the current, or just completed goal of
2 20 percent next year of delivered energy. So
3 we're pretty proud of that.

4 And as we go forward, looking at a 33
5 percent RPS as being part of our sustainable
6 energy strategy, it's becoming very clear to us
7 that bulk storage, as well as distributed storage,
8 is going to have to play a key role in helping us
9 get here.

10 So what you can see here on the right-
11 hand side, you know, we need to get down around
12 300,000 tons of CO2 emissions by 2050. And these
13 bars in the middle represent our new 500 megawatt
14 combined cycle power plant and our three big cogen
15 power plants, gas-fired power plants.

16 And you can see, in order for us to get
17 2050 we're going to have to start addressing those
18 power plants.

19 And so the portfolio of options that
20 we're going to have to bring forward are going to
21 rely heavily on renewables, as well as energy
22 efficiency and storage plays a role in that.

23 But, as was alluded to by Walt in some
24 of his discussion about the challenges that wind
25 puts on our system, this is some data from our

1 little-over-100-megawatt windfarm located to the
2 west of us here in Solano. And what you can see
3 is that there's not very good correlation between
4 our wind generation source and our load.

5 Our load, as an inland utility, is
6 driven by this hot summer HVAC load. And, you
7 know, the wind is the weakest at those points.
8 And so when you look at it either, you know, on an
9 annual basis or down to hourly basis, we have to
10 rely on other resources to date, predominately
11 natural gas resources, to address this mismatch
12 and insure that we're able to keep the system
13 reliable.

14 And so storage in this instance is a
15 great opportunity, we think, to address this
16 particular issue of our renewable portfolio.

17 So the approach that we're talking is
18 two-pronged, because I started by saying, you
19 know, we think we need both. It's not going to be
20 one or the other. We have a pretty robust
21 photovoltaic program. That drives you to needing
22 to look at distributed storage solutions.

23 As we move forward with this 33 percent
24 RPS, we see a lot more hydro, small hydro and
25 wind. That drives you to large bulk storage

1 solutions.

2 So, we're working in partnership with
3 EPRI, as some of the other utilities here are.
4 Looking at opportunities around compressed air
5 energy storage.

6 We're also in the planning phases of a
7 new pump storage system that's part of our Upper
8 American River hydro system. It's part of our
9 FERC relicensing to be able to do about a 400
10 megawatt pump hydro storage system that will go a
11 long ways to helping us address the increase in
12 our wind resources, and help us to match this --
13 or address this mismatch between wind generation
14 and our load.

15 But I wanted to also talk about the
16 distributed aspects of storage. And this really
17 touches on distributed generation as well as
18 storage.

19 Mike spoke a little bit about optimal
20 location. And I have to say, Edison's been doing
21 some very interesting work, with funding from the
22 Energy Commission, to use new modeling approaches
23 to understand how you can look at your
24 transmission and distribution system as an
25 integrated model, and understand the best

1 locations to put storage, generation or
2 traditionally utility solutions.

3 And SMUD has done a little bit in that
4 area, at least at the transmission and
5 subtransmission level. Where we're going to go
6 beginning this year is we're going to take the
7 same approach, basically, that Edison has been out
8 in front on. And we're going to actually do our
9 whole system down to our 12 kV and start to
10 identify really where the optimal locations are
11 for storage, as well as distributed generation,
12 that are going to provide the greatest value to
13 the utility.

14 And this will help get at some of the
15 points that were made earlier about, you know, how
16 do you get to some of these other value
17 propositions so that you can stack these things
18 and make these expensive storage technologies cost
19 effective today.

20 We do have some distributed storage
21 demonstrations going on. I wasn't going to talk
22 much about that. But we're working with our
23 transmission and distribution operations folks to
24 start to understand how they can incorporate
25 storage into how they dispatch and operate our

1 system.

2 Thank you.

3 MR. NEFF: Thank you. Next we have Dan,
4 again, from EPRI.

5 MR. RASTLER: Okay, I'd like to just
6 touch a little bit on the barriers and the RD&D
7 needs that we see in this area. And I just may
8 limit my remarks to this, most of this one slide,
9 but I do have a few other supplemental slides.

10 It's complicated, it's a very
11 complicated problem we're talking about. We're
12 talking about both a macro understanding, as well
13 as more of kind of bottoms up, something that Mark
14 kind of alluded to. Where you find the best value
15 at the more granular approach in the grid.

16 But we are trying to answer sort of the
17 macro level right now with EPRI and some of the
18 Merge and Prism analysis that maybe some of you
19 are familiar about, which has been capped recently
20 to say, well, we -- I think around 25 percent of
21 the U.S. RPS. And we're trying to understand, but
22 what if we had cost effective storage. Could we
23 go beyond 25 percent RPS.

24 We're also trying to look at this a
25 little bit closer right now in ERCOT, big plans

1 for wind. And they're making some very huge
2 transmission investments in ERCOT.

3 So we are going to be doing a little bit
4 more of a robust analysis using the tool. We're
5 not advocating any special tool, but ERCOT is
6 using UPlan. And it's a supply side and
7 transmission analysis tool. To get at and
8 understand the nodal pricing and really understand
9 particularly the value of bulk storage.

10 And we're going to be testing the
11 hypothesis of the compressed air, cycle air, the
12 second generation one I spoke about. And try to
13 understand how that cycle can bring on more wind
14 in ERCOT. And understand the underlying
15 greenhouse gas impacts under a number of wind
16 penetration scenarios.

17 We also think, as was mentioned earlier,
18 -- so you're going to hear sort of a theme here
19 from all of us, I think -- of really the need to
20 understand the application-specific solutions and
21 the costs and value in gap analysis. Also, an
22 example here of that, of what we're trying to do.

23 Also, echo what you've heard, we need to
24 resolve the risk of deployment of these systems.
25 Our members, the industry wants fully integrated

1 systems, almost turnkey delivery. They don't want
2 to have to spec battery, find an inverter that
3 controls. Turnkey integrated solution,
4 application specific.

5 And as I mentioned, we need some cost
6 reduction and standardization. So a lot could
7 happen if we could standardize on a few high-value
8 applications. Put those specifications out to the
9 market and we'd have competition and we'd have,
10 you know, an opportunity for cost reduction.

11 That would address the technology risks
12 and also the vendor risk in bringing these systems
13 forward.

14 And certainly we heard about the
15 regulatory treatment. It's really important to
16 understand. Really appreciated the comments here,
17 try to understand this regulatory treatment, how
18 we can basically talk about here's what technology
19 can do; how do we get the policies and the
20 treatment right to take advantage of these
21 technologies.

22 We are looking at storage in the smart
23 grid. And a number of utilities are planning
24 pilots to demonstrate the business case for smart
25 grid pilots.

1 In some of the restructured states
2 they've had to go forward to their commission to
3 get regulatory treatment for these pilots. So
4 that's really important. Some utilities will do
5 it with sort of existing authority under their R&D
6 opportunities. But others really need to have
7 that regulatory approval to kind of advance the
8 deployment of new systems.

9 Again, we need market rules that
10 encourage win/win. And this could be allowing a
11 number of different stakeholders to participate.
12 And, again, monetizing those various streams.

13 And then finally, I mean storage has
14 finally, I think, gotten the attention at the
15 federal level. There's going to be several
16 billions of dollars in the basic sciences areas
17 targeted toward storage and advancing new
18 technology to bring, you know, the more promising
19 technologies forward.

20 I think with that maybe I'll just
21 conclude. The other slides will be in the public
22 record for support. Thank you.

23 MR. NEFF: Thank you, Dan. Next we have
24 Richard Fioravanti from KEMA.

25 MR. FIORAVANTI: Thank you for inviting

1 me and have the opportunity to speak. I wanted to
2 first put up a slide a little bit about KEMA.
3 Mainly for the main reasoning of the -- I'm
4 involved in doing the research and modeling a lot
5 of the storage applications, so KEMA is involved
6 both in the U.S. and in Europe. And we do a lot
7 of -- a great deal of testing.

8 A lot of the points I'm bringing up and
9 the roadblocks they're running into are because we
10 have actually been testing these technologies from
11 small applications all the way up to very large.
12 And we're running into these problems. And the
13 issues that I'm raising here are really from
14 things that we have been running in.

15 In fact, we are working with, as an
16 example we're working with NATO on future solar
17 battery back applications. We're doing safety
18 testing on some very innovative lithium ion
19 batteries that are being used for plug-in hybrids.
20 And we're actually working with some of the new
21 technologies as they're being applied to large
22 renewable projects out in the field right now.

23 So the point that we're raising are,
24 again, just things that we currently are running
25 into.

1 The first slide, something old,
2 something new, same challenges. There's a lot of
3 technologies being applied in storage. And I like
4 to use storage as a concept, more so as a
5 discussion of different and various technologies.

6 We have some very traditional
7 technologies, pumped hydro, what we're seeing, the
8 discussion that's been around for awhile; and some
9 very new technologies, what we're seeing emerging
10 with both batteries and different types of
11 technologies that are being applied to the
12 batteries.

13 But each day we're getting a greater and
14 greater understanding of what we can do with
15 these. But those understanding is leading into
16 some questions about how do we really apply it and
17 where do we really apply it.

18 So the same challenges with any emerging
19 technology is we need to really get our arms
20 around what we're trying to do.

21 And the first step when I look at this
22 is let's talk about some of the things that we
23 can't do. We can't change the laws of physics, so
24 when we start talking about all these
25 technologies, we can't group them into one piece

1 and expect one technology to apply everywhere.

2 And I'll touch on this a little bit further in the
3 discussion.

4 But also we can't predict innovation and
5 we can't select technologies that we think are
6 going to be winning because this is changing very
7 fast. And we are, in a lot of these areas, still
8 in a very emerging area.

9 And try as we may, and as hard as we
10 can, we're still not going to predict which
11 technologies are coming around the corner.

12 Part of that is because this concept is
13 really being highlighted right now as having a lot
14 of light shown on it. And just as we have seen,
15 you know, PHV battery manufacturers, power tool
16 battery manufacturers get excited about utility-
17 scale application, we're seeing advanced military,
18 we're seeing solar power manufacturers also
19 getting excited about this area and coming in, as
20 well.

21 And so it's not just some of the
22 traditional players, but because we have such a
23 high visibility area everybody is coming in. And
24 I'm sure right now there's somebody in their
25 garage who has come up with something that they

1 think will top everything.

2 But we have to prepare for that and
3 realize that we're not going to realize that we
4 already know everything that's out there. So,
5 let's again, focus on the concepts. And I like to
6 even bucket-ize it when we start grouping some of
7 these applications. And, again, start talking
8 about the performance. When we start finding out
9 what we need we're going to realize that there's a
10 lot of people out there that are going to want to
11 supply that.

12 But knowing this, and even, you know,
13 we've, I think for a lot of us in this room, we've
14 all seen this on DG and CHP applications over the
15 last ten years, some of the same scenarios, same
16 activities that have been going on.

17 And these are just common pieces that
18 really fit together with emerging technologies.
19 And that's when I was actually looking at some of
20 these ideas, I was thinking, you know, these seem
21 fairly obvious. But when we start getting the
22 speed at which we're seeing a lot of this move
23 forward, some of that is kind of falling by the
24 wayside. And we may get hurt by that.

25 So, as we go forward, the concrete steps

1 that I wanted to focus on are really education,
2 the standards, the testing and the grants.

3 Has been done many times and we're
4 witnessing the storage, to really outpace a lot of
5 these traditional approaches. Because we're
6 seeing this as a solution to a problem that we
7 know is going to be on the grid. And we're
8 rushing to that solution.

9 And on top of that we actually, in some
10 of these cases, have the opportunity to make
11 profits from them. And so there's a great rush to
12 get this out and get this working. But at the
13 same time, from a perspective of societal benefits
14 that are going to be gained from this, there
15 really is a need to kind of take a step back,
16 understand it, provide the proper standards for
17 it, get the testing that is required, and start
18 focusing our grants in areas that are a little bit
19 more concentrated and focused.

20 So, I just highlighted each of these
21 areas and I can go through them quickly. The
22 steps that increase the education and awareness.
23 Again, storage encompasses a lot of different
24 technologies. And they vary in capacity, they
25 vary in duration.

1 The tendency for everybody is to tell me
2 what the best technology is. And it's something
3 that you just can't do. I often use the term one
4 size doesn't fit all. And I really think it
5 applies in this case.

6 For ancillary services we know that 15
7 minutes fast response really has a great niche
8 there. For diurnal cycles with wind we know that
9 we need large capacity, long duration.

10 For congestion and constraints with
11 renewables also we need not as long as we're
12 looking for diurnal, but we still need hours
13 instead of minutes.

14 So creating a database that starts
15 aligning these technologies and applications, it
16 gives people a pretty good idea of what they have
17 in the field as far as the natural technology.
18 And where that probably has the best chance to be
19 applied is an education point and a database. And
20 I think some folks really need to start focusing
21 on creating that and making that public to get
22 everybody up to speed.

23 Again, I've seen this in the past where
24 people like to mix applications and technologies.
25 And when they do that they often put the wrong

1 technologies together with applications.

2 Creating standards for developers. You
3 know, this is both for the manufacturers and for
4 the end users. And these are the cases that we
5 are running into when we're testing right now.

6 For a lot of these emerging technology
7 folks they have been working on behind-the-meter
8 UPS systems that now they're looking to scale up.
9 And as they do this, they're now realizing they're
10 going to be connecting at the transmission level
11 and not just behind the meter.

12 There's a whole host of different
13 standards and requirements are involved in that.
14 And they don't know those. And some of the
15 questions that we are receiving from these folks
16 is what are those, what do we need to do, how do
17 we go through that.

18 Then when we start looking at these
19 standards and these policies we're realizing that
20 they're not written for these type of
21 technologies. And so that's an area, I think,
22 that we really do need to focus on.

23 And every time we start looking at
24 standards, it's a long timeline before we really
25 figure out what those should be. So it's

1 something, I think, we really need to be moving
2 for quickly.

3 For end-users we have the problem in
4 reverse is what am I buying. And right now
5 looking at some of these storage technologies,
6 there isn't a label on them that tells me, you
7 know, how, what its capacity is, what its duration
8 is.

9 And right now it's really an end-user
10 working with a developer in coming up with the
11 performance characteristics that they think they
12 need. But in the end that is something that
13 really needs to be standardized. How do you
14 actually take these technologies and put a stamp
15 at the end of it much like you would with a fuel
16 cell or an IC engine when you know what the kW is
17 and you know, you know, what type of fuel it's
18 using.

19 So those are areas that I think we need
20 to focus on in coming up with a consensus standard
21 on how we actually define that. I think it's
22 important.

23 On the horizon, of course, is this
24 question, you know, what is it. Is it a T&D, is
25 it a merchant player. I mean I actually get

1 comforted when I hear people other than
2 consultants answering a question by saying, it
3 depends, or it can be both.

4 But that is something on the horizon
5 that's also going to have to be addressed. We do,
6 we really do have a technology that kind of cuts
7 across a lot of different areas. And looking for
8 a definition of what it actually is.

9 The testing. This is something that I,
10 you know, again, we have these rapidly increasing
11 interest in storage. And mainly because we see
12 these problems that we're going to be encountering
13 with a large amount of variable generation that
14 we're trying to put on the grid. And we see
15 storage as a solution to this.

16 And we've also noted through work by
17 folks in this room there's opportunities in
18 ancillary services where you can actually, you may
19 be able to perform better, you may be able to get
20 rewarded for that.

21 And so there's a very high interest in
22 getting these things out quickly. But typically
23 when an emerging technology comes out, there is a
24 long lifecycle testing that goes along with it.

25 We talk about, you know, doing this, as

1 I say, in a New York winter, in a Houston summer.
2 Right now we have testing on these technologies,
3 but they tend to be short duration. They tend to
4 be in pilots of applications that people actually
5 are already trying to utilize as a solution.

6 But the talk for storage right now is
7 all about what we can do and how this is going to
8 solve this problem. We need to start focusing on
9 doing long-term testing to make sure that these
10 technologies can actually do what they're going to
11 be doing.

12 And, again, when we start looking at
13 lifecycles, you know, testing is over a couple
14 months versus two years, even though we have a
15 very short timeline on when renewables are coming
16 out with all these technologies that are being
17 introduced. When we see these problems we still
18 need to start focusing on what is going to happen
19 with these units after one year, after two years,
20 after three years. And trying to find a way to
21 get that out to the public, as well.

22 So, I think this issue is taking on more
23 importance. Again, as many of these technologies
24 are being pencilled in right now as solutions to
25 some of the problems that we're going to be seeing

1 in the near future.

2 But we do need to make sure that we
3 understand exactly what they're going to do and
4 how they're going to perform. And we can say as
5 to how they're going to perform with some
6 confidence by some of the testing that we've done
7 on these.

8 And I know EPRI is doing a lot of work
9 in this. KEMA is doing a lot of work in this.
10 But it's something, I think, you know, as we start
11 going forward we need to see more folks, meaning
12 agencies and federal agencies, understanding this,
13 as well.

14 Grants and incentives. You know, this
15 topic is -- I mean again, I tend to like this
16 because I've seen a lot of these grants and
17 incentives being applied to microturbines and fuel
18 cells.

19 And with storage I think we have a
20 technology that is more near commercialization.
21 It actually has solving a problem. It's one of
22 the key factors when you look at emerging
23 technologies, is it going to solve a problem or is
24 it just an alternative.

25 In this case there's actually real

1 problems that are being solved by storage. And in
2 some cases, it's performing better than what the
3 alternatives are.

4 And yet we are just now starting to see
5 incentives being applied to it where some of these
6 other technologies, which are really just
7 alternatives have a lot of money already put into
8 it.

9 So, but we do need to preface this on
10 one point about the market question. That if a
11 solution is better, if it's profitable the markets
12 are going to find a way to implement it.

13 So that gets back to this question about
14 who these players and how do we determine which
15 are the best technologies. If there is a motive
16 for a technology, you're going to be seeing a lot
17 of players coming into it. And, again, that's
18 exactly what's happening right now.

19 Some of the advanced military folks that
20 we are working with are looking at these renewable
21 sides and saying, why can't my technology fit in
22 there. The answer is, well, there's no reason why
23 it can't. And so they're getting just as excited
24 as some of these other folks are.

25 So we're going to be seeing a lot of

1 people coming in here which would, again, this is
2 R&D stuff that isn't, you know, published, they
3 probably don't want to tell people about it. But
4 it's happening, it's occurring right now. And so
5 we, in some ways you almost want to just step
6 aside from that.

7 We also have the stimulus package that's
8 coming out. Language in there about storage in
9 many different cases, but still it's viewed as a
10 component to smart grid, it's viewed as a
11 component to some type of tool that we're going to
12 have.

13 And I think by some way we kind of
14 dilute the effectiveness of storage or what we can
15 really utilize it for.

16 So I think this is all leading to
17 something that folks at the CEC have already
18 realized, is that the roadmap around where we want
19 to utilize it, how we want storage to go forward,
20 I think is one of the pressing points that we have
21 to have as we move forward.

22 And that really comes into defining, you
23 know, storage is a concept. Defining what its
24 performance requirements are going to need to be
25 in specific areas. Letting the market respond to

1 that.

2 But also putting some direction as to
3 how we want to go forward. We look at all the
4 money that's going to be put into the stimulus
5 package right now. We want to make sure that it's
6 applied to areas that are going to be the most
7 effective.

8 And when we have a technology that is
9 emerging, it has multiple uses and more uses by
10 the day that we seem to be coming up with, you
11 know, there's a very strong probability that some
12 of this money and some of these incentive grants
13 are going to be diluted by going to areas that may
14 not be some of the most pressing issues right now.

15 So I really do believe that somehow
16 getting an idea of a roadmap of where it's going,
17 it's typically something we'd want to see from the
18 federal agencies, but even within the state of
19 California. I think it's also very important
20 about how it fits with the state, itself.

21 So, finally, that's really what I wanted
22 to talk about. If there's any questions I'd be
23 glad to answer. Again, when we start looking at
24 the standards and testing, the education and the
25 grants that are out there, I really want to see a

1 lot of this get directed and focused more so than
2 what we've seen so far.

3 Thank you.

4 MR. NEFF: Thank you, Richard. Next we
5 have Ed Cazalet from MegaWatt Storage Farms.

6 MR. CAZALET: Well, good morning and
7 thank you for being here. We have a problem, not
8 of kilowatts or megawatts, but of gigawatts here
9 in California. Unless we think on that scale, I
10 think we're going to miss the target.

11 And let me just draw a picture of
12 California here and think about where we might put
13 4 gigawatts of storage. Now, 4 gigawatts of
14 storage is only 5 percent of our 2020 peak.
15 That's less than a third of our planning reserve
16 margin.

17 Now I'm talking about 4 gigawatts of
18 storage in addition to the storage such as pumped
19 hydro that we have already on the grid.

20 And we have in California a lot of
21 renewables going in, a lot of transmission being
22 built to support those renewables. We have
23 perhaps 20,000 megawatts, 20 gigawatts of once-
24 through cooling fossil fuel units, I guess nuclear
25 is probably included in that number, but fossil

1 fuel, 20,000 megawatts at risk. 70,000 megawatt
2 perhaps peak load by that point in time, 33
3 percent of that being renewables. This is a
4 significant challenge.

5 We may not be able to -- if we try to
6 meet that target, and with the restrictions on the
7 fossil fuels, we may not make it. Four gigawatts
8 of storage is a tiny fraction of that. But I
9 think it's achievable for 2020.

10 Now, where would you put that? Well,
11 just roughly speaking, let's put a gigawatt in the
12 Bay Area, two gigawatts in the L.A. Basin and a
13 gigawatt in the San Diego area.

14 Now, this is perfect to put in the local
15 areas because storage with the right technology
16 has no emissions, no water, no noise.

17 Now, try to put fossil fuel plants in
18 those areas today. You basically can't do it.
19 Edison struggled to get its four 50-megawatt
20 turbines in there, and the fifth one I don't think
21 has been approved yet.

22 In the Bay Area I'm not aware of any
23 recent approvals for new fossil fuel plants. And
24 certainly the local residents are going to fight
25 like crazy to have any put there. Similar

1 struggles down in San Diego. So, we really don't
2 have generation alternatives in these basins.

3 So perhaps we build transmission. Well,
4 transmission faces many of the same problems. The
5 Palo Verde-Devers line, on the existing line, was
6 approved when I was on the board of governors four
7 years ago. It's still yet to be under
8 construction. The Sunrise line struggles and
9 challenges getting that in there. Be a similar
10 challenge to get new major transmission into the
11 Bay Area.

12 Additionally, we're putting -- there's a
13 major move to put photovoltaic on rooftops,
14 parking lots, in those areas.

15 So a lot of the generation for
16 renewables is going in there. The wind is remote.
17 Wind blows mainly at night. And some of that can
18 be brought in, to some extent, over existing
19 transmission lines. Especially if you put the
20 storage in the load basins.

21 So if we had four gigawatts of storage
22 that theoretically could replace four gigawatts of
23 transmission and four gigawatts of distribution
24 capabilities you put it in the right places on the
25 distribution grid.

1 If it's gotten a long enough duration it
2 will provide four gigawatts of CPUC resource
3 adequacy capacity to meet your resource adequacy
4 requirement.

5 Now, storage is two-way, roughly
6 speaking. Four gigawatts of storage will provide
7 you with eight gigawatts of dispatchability.
8 Dispatchability for providing frequency
9 regulation, reserves, load following and ramping.

10 So when the wind up at Tehachapi, this
11 is the picture that we're all using now, it shows
12 the wind blowing at 6:00 in the morning like
13 crazy. And in some cases it drops off in two
14 hours to essentially nothing. Not all the time.

15 What does that mean? I have to have at
16 least some fossil fuel, perhaps quite a bit,
17 standing there, running at idle or running at 50
18 percent, waiting to absorb that capability.
19 That's spewing out emissions; it's operating
20 ineffectively.

21 If you put storage on the grid at least
22 it can absorb a big chunk of that. And if we got
23 a longer outage, we bring up the most efficient
24 and cleanest fossil fuel plants to back it up, or
25 use our stored hydro for the longer duration. Or

1 perhaps remotely located compressed air.

2 With wind we will have over-generation
3 problems at night. This will provide four
4 gigawatts of over-generation protection at night.
5 Locating it in the right grid with the right power
6 electronics and operating properly provides four
7 gigawatts of voltage support.

8 Now, today when we plan a system we
9 don't think of four gigawatts of storage being in
10 the basin. We plan the system now with the
11 necessary transmission to get there.

12 And that's fine, but then if we come
13 along and add storage on top of that, you say,
14 well, we don't need -- we're not deferring any
15 transmission because we already planned the
16 transmission.

17 So we have to refocus California's
18 transmission planning to say, let's think in terms
19 of where we're going to put the storage and the
20 generation, et cetera. And on top of that figure
21 out where the transmission grid. Not assume the
22 generation is going to go out and -- be imported
23 from outside. And we have to build enough
24 transmission to get into the local areas to backup
25 all the solar, and backup all the -- and provide

1 local use. So, take a different perspective at
2 it. All this is very complicated planning.

3 Now there's some general feeling, okay,
4 that storage is expensive. Well, compared to
5 what? Okay. Storage is a different animal.

6 So let's say I got a gigawatt of storage
7 and a gigawatt of fossil. Well, right off the bat
8 you see, if I'm after dispatchability a gigawatt
9 of storage provides me two gigawatts of
10 dispatchability versus one gigawatt from a fossil
11 fuel plant. So on a per-megawatt basis, for that
12 application I can already afford to pay twice as
13 much.

14 Now, it's really better than that.
15 Because in order to get reasonably, you know,
16 dispatchability for spinning or for ramping, that
17 sort of thing, the unit's got to be online.

18 So let's take a fossil unit. It's got
19 to be operating, say, reasonably at 50 percent.
20 And then I can, in order to be able to move it
21 quickly. So that means I only get a half a
22 gigawatt of dispatchability out of that one
23 gigawatt of fossil fuel.

24 So now we got two times two, four times
25 more dispatchability for those applications than I

1 do for fossil plants.

2 Let me take one more step. If we're
3 looking at fast response applications such as
4 frequency regulation or fast frequency regulation,
5 okay, in some cases that may be worth more, up to
6 twice as much to the system operator because he
7 can buy less of that and provide the same grid
8 stability service, frequency regulation, because
9 it can move faster, you can get more control.

10 So in theory, for some applications you
11 could have storage worth eight times on a per-
12 gigawatt basis what fossil fuel is.

13 But even that's not the answer to the
14 question because if we look at our L.A., San
15 Diego, Bay Area and perhaps even, you know, SMUD,
16 we really don't have any transmission or
17 generation alternatives. We have no alternative
18 but to put local photovoltaic and that won't be
19 enough, than to put storage in there. It's the
20 only clean, green alternative you can put in.

21 And so really it comes down to, from an
22 economic point of view, is storage-on-storage
23 competition to meet those needs in those areas,
24 and not storage versus fossil fuel, because fossil
25 fuel and transmission is not a viable alternative,

1 I believe.

2 So, how do we get there? Well, we can
3 do studies from here -- I've spent 40 years doing
4 studies, we can study this and study it. And I
5 can tell you the models aren't good enough to
6 compare storage to fossil fuels. Okay.

7 If you're buying fossil fuels in a
8 procurement you might be looking on/off-peak
9 pricing or something. If you're going to look at
10 storage you got to look at five-minute or five-
11 second operation. You got to look at comparing
12 transmission location. Very complex problem.

13 It's the same complexity to say what is
14 the value of a wind machine at the grid, what is
15 the value of solar PV. As a policy in this state
16 and in the country, we've set RPS standards. And
17 say we think we look at this technology, or this
18 class of technologies, and we want to move that
19 correction from a policy point of view.

20 I think the case could be made that
21 given we've made those decisions, and they're the
22 essential ingredient of getting there in a clean
23 way and a reliable way, to have a significant
24 chunk of storage on the grid, we should set a
25 storage portfolio standard to provide the

1 direction and the incentives to put the right
2 amount of storage on the grid.

3 So I propose for California a storage
4 portfolio standard of 5 percent by 2020. That's
5 about four gigawatts, okay. And we've got to
6 define what that is, because that needs to be
7 clean, no greenhouse gas emissions. Because if
8 we're just adding greenhouse gas emissions back in
9 we're not attaining the goals of the renewable
10 portfolio standard.

11 It needs to be fast, I would say less
12 than a second response, with full charge to
13 discharge. It needs to be deep. Now, let me
14 explain this. I think if we're going to go to
15 four gigawatts we got to be fairly deep, four to
16 six hours, perhaps more on average. Set a role
17 for storage that might be 15 minutes for a
18 significant chunk of that.

19 But the overall, there's not a need for
20 four gigawatts of frequency regulation on the
21 grid.

22 So in terms of this standard I think
23 somewhere in the range of four to six hours for
24 the average composition of the storage. Some of
25 it might be ten, some of it might be 15 minutes,

1 et cetera.

2 And that it be located close to the
3 load. We already have storage in some cases out,
4 you know, for Helms and Big Creek and that sort of
5 thing. But this would be a standard for storage
6 located essentially on the distribution grid.

7 Now, once you have that in place, then
8 just like the RPS standard, it's a straightforward
9 procurement process for the IOUs to issue
10 solicitations and competitively procure storage.
11 I would propose under storage service PPAs, not
12 unlike what you do today for fossil generation and
13 for renewables.

14 So, that's my proposal. I hope that can
15 help focus our attention. I would suggest that if
16 this is of interest, the utilities in California,
17 the regulators, we have an opportunity with the
18 Recovery Act to propose to Washington a program
19 that would take the initial steps towards this
20 goal.

21 So if we go in there and say, our plan
22 is four gigawatts of storage, and we're going to
23 get 50 million, 100 million, whatever it might be,
24 to start along this program. I think we have a
25 big vision we can take to Washington. And

1 something that would really energize the industry.

2 If we put this in place people will say,
3 well, how are we going to manufacture 500
4 megawatts a year of storage. That's what we want
5 people to begin thinking about.

6 Not -- we want to continue the research,
7 but if we got to put 500 megawatts here on the
8 grid, we have manufacturing plants to be built,
9 jobs to be provided manufacturing. It's got to be
10 installed and maintained.

11 It's a real program I think the
12 political side of our country can get behind. And
13 this will drive new initiatives. Will drive
14 research where people say, gee, this particular
15 storage you're putting in now costs X dollars a
16 megawatt, I can do it cheaper.

17 And that's exactly the kind of
18 incentives we want to move the industry forward.
19 Thank you.

20 MR. NEFF: Thank you, Ed. I think we're
21 moving on to the last one, Tom from San Diego Gas
22 and Electric.

23 MR. BIALEK: Thank you for letting me
24 come and give this presentation. And I'm standing
25 between you and lunch. You've also heard a lot of

1 the things I'm going to say, so, you know, I'm not
2 going to take all that long.

3 I think what I want to try to do here is
4 hopefully take a little bit different spin on some
5 of this storage stuff. But I think, in general,
6 what you're going to see is that SDG&E, like all
7 the other IOUs in California, recognized that
8 ultimately storage is going to be a key element as
9 we move forward in the future.

10 It's going to be something that's going
11 to be necessary for us as we look to try to
12 integrate renewables particularly. But also as we
13 look at some of the features, sort of smart grid
14 applications, where customer side storage may be a
15 viable option for us to use and integrate into our
16 systems to actually be able to help out with some
17 response.

18 With that, what I'm trying to do here is
19 talk about a little bit different perspective.
20 And when you think about, you know, and talk a
21 little bit about planning, planning, to a large
22 degree, really just sort of, you look at resource
23 planning, sort of what do you need when.

24 The question becomes, with regard to
25 storage, if I look at large wind penetrations

1 coming on at night, and now I'm looking at how can
2 I integrate that. Will I have to back off my
3 fossil generation or nuclear plants because I got
4 so much wind coming on at night that without
5 storage that would be the alternative.

6 For T&D planning what's available at
7 system peak, that's a key issue. That's one of
8 the things that drives planning for transmission
9 distribution system.

10 And so you sit there and say, okay, what
11 can I do with storage. And if I now look at
12 renewables, the question sort of becomes how do I
13 know that I can be able to guarantee certain
14 levels of performance such that I can count on
15 them, such that I could have the right generation
16 mix up and running and available to me.

17 And so also you throw now storage into
18 the mix and say, storage helps me to, from the
19 perspective of both looking at modifying load
20 profiles, as well as looking at guaranteeing
21 certain levels of performance with regards to
22 renewables.

23 From a smart grid perspective, one of
24 the things that I would throw out, as I think
25 really becomes important as we move down the road,

1 is optimization of a load profile that the IOUs
2 see, that we see in the state of California.

3 What do you really want to see here in
4 the end? Do you want to see it to be totally
5 flat? You know, arguably you could do that. Do
6 you want to see average efficiency or average load
7 factors at 80 percent, 90 percent? What do you
8 really want that to look like on a yearly basis,
9 as well as sort of a daily basis?

10 When you think about that, starting
11 thinking about the concepts that were raised about
12 what bucket do we put it in, I think the real
13 question is what are you really trying to get at.
14 What sort of load profile do you really want?

15 There's a variety of ways to do that.
16 You could do it with demand response, as well as
17 with storage, if you can get enough people to
18 actually respond. So, there are those kinds of
19 questions that need to be answered.

20 And then lastly, centralized versus
21 distributed. Certainly from a utility perspective
22 we're used to big central facilities. Those are
23 easier; there's less of them; they're easy to
24 maintain.

25 But the reality may be very different

1 down the road, as we look at, you know, customers
2 getting price signals, responding to pricing
3 signals, looking at how -- what technologies they
4 can employ, whether they be electric vehicles or
5 others, to manage their energy use.

6 And so now you get into -- you can do it
7 both ways. The question certainly distributed
8 might be a little more complicated, but the
9 question becomes train off those two, looking at
10 those two perspectives.

11 So obviously you've heard about this. I
12 mean this came out of the -- Power Engineering
13 magazine. Here you're seeing a typical wind
14 turbine power curve, relatively fast ramp and then
15 ultimately cut off. Isn't a surprise to anybody,
16 really fast ramping rates causing additional
17 problems to conventional fossil machines, large
18 fossil machines, because they can't ramp that
19 fast.

20 So to Dan's point, I could be sitting
21 here with a fossil generator sitting out there at
22 a certain loading level to try to accommodate
23 these types of ramps. And when I do that it's
24 going to be operating at lower efficiencies than
25 might otherwise do in an optimum perspective. And

1 producing more emissions, more greenhouse gases.

2 And I've got to apologize for the next
3 couple slides because I pulled them from a
4 SunPower presentation. But this little mess here
5 is actually the output of a PV system. The orange
6 is actually the power output and the green is
7 actually the ramp rates.

8 And we're talking ramp rates in
9 kilowatts per second. Again, really quick ramp
10 rates. And so now from a big fossil generator
11 perspective, how are you going to follow this?
12 Forget it. You're not going to do it. You're
13 going to pull it out of the stored field in the
14 system. And then you'll send signals to your
15 large units to ramp up, rev down. They'll produce
16 more than they need or less than they need.

17 Here's another example; here's a larger
18 scale. This is actually a Nellis Air Force Base
19 tracking. Same kind of thing we saw.

20 So you can just see some of the changes.
21 Significant changes in output in very short
22 duration of time. So that has to be accommodated.

23 So now let's change slightly. Let's
24 talk a little bit about some of the, you know,
25 microgrid, which we say is really an alternative

1 service delivery model.

2 We're looking at flows going in a
3 multitude of directions. We look at isolating
4 from the substations. And ultimately down sort of
5 just above the residential loads, as energy
6 storage, whatever that happens to be, to help us
7 both transition from a parallel operation mode
8 with the grid to an islanded mode when needed.

9 You're really looking at probably, you
10 know, it's been said here before, there's really
11 sort of two components that we believe is going to
12 be needed. It's going to need a fast storage
13 capability, something that's going to be able to
14 respond, react quickly. Doesn't necessarily have
15 to have a long duration capability. But then as
16 we want to try to sustain that island, and perhaps
17 move some loads around, then we look at a longer
18 term storage, as well.

19 And then again, here's an example of
20 some, a voltage sag in one of our distribution
21 systems. The top graph shows the basic lead, the
22 RMS values as a function of time. And the bottom
23 is actually the three phases.

24 You can see here, here's another
25 application for storage. But, again note the

1 relatively short duration kind of event, needing
2 something that can respond very quickly.

3 Obviously, we've got EV program as well.
4 We've been doing some stuff with plug-in hybrid
5 electric vehicles. We've announced a partnership
6 with Nissan to be one of, a regional partner as
7 they roll out their EV programming in San Diego
8 County.

9 And then lastly, so I can get you out so
10 you can go to lunch, from our perspective there's
11 really a couple of, you know, there's not -- any
12 barriers, and you can call the regulatory
13 challenges barriers, as well. But to the point of
14 the energy policy goals. Thirty-three percent,
15 you know, ultimately has committed our company to
16 33 percent renewables by 2020.

17 As we look at that and look at how do we
18 do that, plus AB-32, how are we actually going to
19 hit those in the timeframe 2020. It's really only
20 ten years down the road now. And you think about
21 that, that's not really that far away.

22 The cost recovery of these technologies.
23 The point being that there's these bins. Storage
24 doesn't fit in the bins. Somehow it needs to
25 become a bin of its own, or there has to be some

1 redefinition of what those bins are.

2 Do you care, do you really care whether
3 you're reducing load via energy efficiency, demand
4 response or storage or DG? Or do you really care
5 about I want to reduce load?

6 And then the cost allocation. Who's
7 going to really pick up these costs? Obviously,
8 you know, people could argue, one could argue that
9 these intermittent renewables are imposing
10 additional integration costs on the system.
11 Should those be borne by the developers of those
12 systems? Or is it a societal cost that needs to
13 be borne by all ratepayers because our state of
14 California, from the perspective of we want
15 renewables, we want a greener future? And
16 therefore it's something that some dollars to be
17 shared across the board.

18 So, from a perspective of barriers,
19 you've heard this before, technology cost.
20 Clearly the technologies today are expensive.
21 Technology maturity. What you've got is some
22 technologies that arguably we can go out today and
23 buy off the shelf and install. But there's lots
24 of other ones that are in the development phase.
25 Or even in the R&D phase.

1 Another barrier to a certain degree is
2 just this whole sort of technology tradeoffs.
3 It's not quite as straightforward as perhaps you
4 might like to think. Short- versus long-term duty
5 issues. Which one do you need? Where do you need
6 it?

7 Lifetime issues. Not only am I looking
8 at -- when I start looking at how I'm going to
9 discharge this storage device, you now impact the
10 lifetime of the device. So while I'm able to get
11 a cheaper, lower cost installation to get me
12 through two or three years, then I'm going to have
13 to go back out and replace the batteries. And
14 that comes back to the operating regime, as well.

15 One of the other big things that is out
16 there, another issue, is just the whole system
17 integration. Batteries only versus complete
18 systems. As a utility we want a complete system,
19 we just don't really want batteries. It's great,
20 but the reality is somebody has to integrate them.
21 There's really not a lot of people out there doing
22 that in a, you know, really streamlined fashion,
23 or really in a lot of competitive fashion, that we
24 see.

25 So if we go out and place an order we're

1 going to place an order for a battery system. Or
2 whatever energy system that we want AC in and we
3 want AC out.

4 Use cases, multiple value streams. I
5 think it's been mentioned again. Can you, while
6 you have this energy storage device sitting there,
7 apply it to more than one kind of service? Can
8 you actually do the load shifting? Can you do the
9 energy arbitrage? Can you do the -- which things
10 do you want to do? As you add those up and you
11 create more value and you, from your benefit/cost
12 perspective, which is typically, you know, the --
13 we go to the CPUC and ask for recovery of any
14 particular technologies that we're moving forward
15 with, we have to provide business cases,
16 demonstrate those business cases. Benefits have
17 to exceed the costs.

18 Clearly the issue with regards to trying
19 to evaluate and allow multiple value streams in
20 those cases becomes important.

21 And then lastly, siting issues.
22 Recognize that when you talk a megawatt battery
23 you're talking, depending upon the technologies,
24 you're talking a semi-trailer. Or a, you know,
25 sea-container.

1 You've got environmental issues with
2 some of the technologies, space issues. To get to
3 Ed's point, if you think about 4 gigawatts, and if
4 you think about a megawatt being, you know, from a
5 utility perspective, being a semi-trailer, you're
6 going to be having a lot of semi-trailers being
7 needed to be parked somewhere.

8 So those are just some of the things to
9 think about as we move forward with this. We
10 believe that it's something that we are going to
11 have to address, and sooner rather than later,
12 given the challenges I think we're going to meet
13 when we try at the 2020 goals.

14 Thank you.

15 MR. GRAVELY: Thank you, Tom.

16 MR. BIALEK: You're welcome.

17 MR. GRAVELY: I will make one little
18 adjustment. We're not going to go to lunch quite
19 yet. I apologize for that, but I do think some of
20 our panel members will not be here for the
21 afternoon and I do want to take 15 or 20 or no
22 more 30 minutes to discuss some issues now that
23 we've had a chance to cover a broad perspective.

24 So what I wanted to do is ask the panel
25 some questions now and give a chance for the

1 different experts who spoke about some of the
2 issues we've addressed.

3 The first one I'd like to ask in general
4 is we've talked around it quite a bit, but is
5 there a unanimous or general agreement that
6 storage is critical in our mix for 2020.
7 Ultimately we're here to discuss about what do we
8 need to meet the RPS in 2020. What does
9 California need.

10 Because currently we don't have any
11 specific directions addressing that. So I'd like
12 to throw it out to the panel and have anybody just
13 speak, as you have a chance. And we'll cover it
14 for a few minutes.

15 And your thoughts, from the perspective
16 of providers, is storage something we're going to
17 have to have a substantial more? I mean, we've
18 heard from Ed's perspective of what he thinks is a
19 goal to shoot for. I'd like to hear from somebody
20 else that's in this market to see what they think
21 it's going to take for us to successfully operate
22 the California grid in 2020 with 30 percent
23 renewables.

24 I'll start with you, Walt, since you
25 represent the ISO.

1 MR. JOHNSON: Yeah, that's the big
2 question, isn't it? What will it take to operate
3 that? What will the grid look like? What will
4 the resource mix look like?

5 I mean we've given some pretty clear
6 direction with regard to renewables making up a
7 significant portion of the supply in that system.
8 And as the bulk of the renewables are going to be
9 suffering from the kinds of variability that we've
10 seen some charts of. We're going to need some way
11 to deal with that.

12 We are not always looked upon favorably
13 with regard to how much we move around thermal
14 generators, as it is, with the system. We'd like
15 to see more stability, more predictability and the
16 ability to do that. Which means we need some
17 other faster responding systems to follow those
18 what I call supply shaping, do something to firm
19 up the intermittency or the variability of that
20 large portion of the generation portfolio.

21 So I think there's no way that we can
22 avoid having some form of -- a combination, I
23 think, of the load side, some demand management of
24 some form and storage. There's probably not
25 enough demand on the system to be able to make up

1 the difference.

2 We would like to see, and from a system
3 operator standpoint I think we'd like to see the
4 variable resources come to the grid with less
5 variability. So I'm particularly interested in
6 schemes that couple some form of storage as a
7 leveler, as a buffer between the variable resource
8 and the grade mix would make our life somewhat
9 simpler.

10 And also it avoids the problem with
11 respect to having to figure out exactly how to
12 dispatch four gigawatts of storage, which is
13 something we've never tried to do.

14 But I think you saw from the list of
15 research projects that we're looking at, there's
16 just a whole lot of questions we need to answer
17 that we don't have good handles on right now,
18 before we can get to the final answer to that
19 question, like what will it take to operate the
20 grid.

21 But we know it's going to involve a fair
22 amount of storage, and it's going to involve a
23 number of other resources. And we're looking to
24 both the technology evolution, as well as the
25 regulatory or sort of reliability standards relief

1 in things that we need to make the mix of
2 resources that we have at our disposal just a
3 flexible and as useful to us as possible.

4 MR. GRAVELY: Someone else?

5 MR. RAWSON: I think from SMUD's
6 perspective, yeah, we do think it's absolutely
7 critical. That's why, you know, in our FERC
8 relicensing we've included a 400 megawatt pumped
9 hydro system. We expect when we get that license
10 later this year or next year that we'll start
11 designing activities to have that storage in place
12 before 2020, for that very reason.

13 And as we look at, you know, our portion
14 of SB-1 PV deployment, we're now starting to look
15 at how we're going to address intermittency issues
16 down at the distribution level. And we think that
17 storage is going to play a key role there, as
18 well.

19 MR. GRAVELY: When you considered that
20 large of a system is pumped hydro the only source
21 you considered, or were there other choices you
22 considered?

23 MR. RAWSON: That was considered as part
24 of a broader objective with our relicensing and
25 our hydro system. It made sense to do it at that

1 same time.

2 But today we are looking at other bulk
3 storage systems. We're a member of EPRI storage
4 activities looking at compressed air energy
5 storage. I will say that, you know, the chart
6 that I put up there showing where we need to be by
7 2050 with respect to greenhouse gas emissions we
8 think puts a challenge on compressed air energy
9 storage because that's, you know, a large enough
10 system to handle the full buildout of our windfarm
11 in Solano.

12 It's going to consume a large part of
13 our CO2 budget by 2050 if we were to use
14 compressed air energy storage.

15 So, you know, that technology has its
16 challenges. Dan talked a little bit about
17 adiabatic case that might be an opportunity to
18 help us get around that issue. Those really are
19 the two bulk storage technologies that we've
20 looked at.

21 And we're doing demonstrations down in
22 the distributed scale with flow technology, as
23 well as advanced battery technologies.

24 MR. FIORAVANTI: I think it's also
25 important to ask the question of how much better

1 can the grid operate with storage there. And
2 increasing in reliability and maintaining the
3 grid.

4 Sometimes when you focus it on one
5 specific component or one area you may get
6 pushback from those folks, if it's their component
7 that people are targeting or saying that that is
8 what is going to cause you to require storage.
9 They may push back and say that there's other ways
10 to mitigate that.

11 But I think when you look at the system
12 as a whole, you know, two questions: Is it
13 needed, and then also how much better can it
14 operate with it, as reasons to have storage on the
15 system.

16 MR. GRAVELY: Okay.

17 MR. RAWSON: Well, I think just to add
18 to that comment, I mean, you know, both Tom and
19 Mike spoke to the point about, you know,
20 experience. And I think there's going to be
21 operational benefits from storage that we don't
22 see today.

23 Until we actually get the opportunity to
24 demonstrate these technologies and let the
25 operator see really what it can provide to their

1 system, there's going to be other values that are
2 going to be unlocked from storage that we don't
3 know about today.

4 MR. MONTOYA: Yeah, and from Edison's
5 perspective we think that storage is going to be a
6 piece of going forward. To use one of Ed's
7 examples on the basin, one of the things that
8 we're thinking about is if you use storage where
9 should it be. Just like Walt's point.

10 Because if you look at the Los Angeles
11 Basin, you have about five or six plants in the
12 basin that could go away because they're once-
13 through. Most of the intermittent resources are
14 going to be outside of the basin.

15 And so if you have the energy storage in
16 the basin you're going to need transmission to be
17 able to utilize that intermittent resource.

18 So I think the question will be is where
19 can we optimize the storage, where should it be.
20 So that we have, you know, proper system
21 operations.

22 MR. GRAVELY: Let me augment this
23 question a little bit. And that is given what
24 we've heard today from the utilities and different
25 operators, about everybody has got some type of

1 storage project that they're looking at and
2 increased their awareness.

3 If there isn't any kind of policy change
4 where to you think we'll be in five years, you
5 know, or ten years if we say, I mean, take the
6 goal that Ed brought up of four megawatts, which
7 works out to 5 percent of the estimated load.
8 What I'm mentioning was 10 to 15 percent of the
9 renewable load, which is a third of that.

10 So, those numbers are in the same
11 ballpark; they're not radically different. And
12 it's not a huge number like I've heard from other
13 areas, where 50, 60, 70 percent of the renewable
14 load.

15 But the question would be if we don't
16 have policy in the next few years, do you see a
17 substantial different in where we are today. Or
18 there'll just be a few more demonstration projects
19 in the field and we'll still be discussing this as
20 to what we need for 2020, Any comment from
21 anybody on that one?

22 MR. BIALEK: We look at, just looked at
23 sort of where do we think some of the smart grid
24 vision is going; where do we see ourselves going
25 down the road.

1 We recognize that if you really do
2 expect to meet the AB-32 goals, as well as expect
3 to meet 33 percent renewables by 2020, that we
4 have to start sooner rather than later. It is a
5 fairly daunting task. It's going to take time;
6 it's going to take policy changes. None of that
7 happens quickly.

8 And therefore, we believe that you are
9 going to have to start -- we are going to have to
10 start down the path as a state. And that policy
11 changes are necessary.

12 MR. GRAVELY: Any other comments?

13 MR. CAZALET: I just think it's
14 essential to get it into the utility procurement
15 cycle just as soon as possible. Otherwise we'll
16 be building, you know, they have to build to meet
17 the load. And they'll be building more fossil
18 plants to back it up. We're just digging
19 ourselves in a deeper hole.

20 MR. MONTROYA: I guess, Mike, I would add
21 that it depends on what you're utilizing the
22 technology for. If it's for transmission, you
23 know, to relieve the transmission or to upgrade
24 the transmission, then it would be a grid asset
25 versus a generation asset. So it just depends on

1 what you're using it for, I think.

2 MR. RAWSON: That's an important point
3 because, you know, when you start to have
4 portfolio requirements around storage, for
5 example, I mean the needs of the utilities across
6 the state are very different. And I think it's
7 more important to specify what the end objective
8 is that needs to be met. And leave the utilities
9 the flexibility to apply those technologies that
10 help them get to that end point.

11 Whether it's a transmission and
12 distribution issue that they need to address, that
13 could be one technology solution versus something
14 that's helping them firm renewables. Whether
15 it's, you know, utility-scale renewable plants or
16 customer-sited distributed renewable technology.

17 But if it's too prescriptive in terms of
18 like a portfolio requirement that may not
19 necessarily lead to the best technology being
20 selected for the best application that's going to
21 be the most cost effective in the interim -- in
22 the end, to the ratepayers of each respective
23 utility.

24 MR. JOHNSON: I think that's an
25 interesting point. The philosophy behind, for

1 instance, the choice that we have in looking at
2 the constraints on the AS from the WECC rules, do
3 we simply add other resource types to the list
4 that can provide AS? Is it now become generation
5 and load and storage and whatever?

6 Or do we take a different approach,
7 which I think is where we're headed. And that's
8 to step back and say, what's the functional
9 requirement that we want. You know, we want this
10 much energy on these kinds of ramp rates for this
11 duration, you know.

12 And so that's why the characteristic,
13 the electrical behavior of the resource, and leave
14 it wide open what the technology is. That way it
15 could be fit by a variety of different
16 alternatives.

17 And I think that that -- our focus is on
18 removing barriers. We're not in the business of
19 incentivizing one technology over another, or one
20 type of solution over another. But just leveling
21 the playing field.

22 And I think that going back to sort of
23 the principles that are the reason for why we're
24 specifying these kinds of capabilities. And what
25 we want from the resource, rather than what the

1 resource type has to be, or anything more specific
2 than that, is a philosophical position that I
3 think we're likely to be moving forward with in
4 our barrier-removal kind of initiatives.

5 MR. GRAVELY: Okay.

6 MR. FIORAVANTI: I also think some of
7 the roadmapping is important because when you
8 start looking at this being applied to an issue, a
9 particular issue. We're also talking about
10 there's multiple revenue streams and multiple
11 benefits to get out of that.

12 It's hard to get a developer that's
13 assigning it to one task to fully utilize that.
14 To get that holistic point of view, when he's just
15 really trying to solve a problem. He or she is
16 just trying to get them to solve a problem.

17 So in some ways, I think that overall
18 guidance of how we can utilize that more
19 generally, as well, to tap into that resource. I
20 think it's important that, you know, that's why I
21 think the roadmap could come in and lay on top of
22 that. Because you just may get components out
23 there that may not be fully utilized or taken
24 advantage of to its fullest.

25 MR. GRAVELY: One last question. I will

1 take a chance and throw it out for about ten
2 minutes for the audience if they want to have
3 questions, again because some of this panel won't
4 be here in the afternoon.

5 And that is we have a rare opportunity
6 right now, and that is with \$4.5 billion for smart
7 grid, the state of California's taken a very
8 aggressive approach under the direction of our
9 Governor, and we're trying to coordinate
10 opportunities.

11 So the question I would have is if we
12 were successful and able to attain a fair share or
13 more of smart grid funding in according to the
14 early announcement, energy storage is a big part
15 of that. One of the areas they're looking to fund
16 is energy storage utility-level projects.

17 And they're looking at demonstrations in
18 the two- to five-year period. So, it's in line
19 with what we've been talking about today.

20 So, is it possible that we have a
21 substantial amount of success in the energy
22 storage area from the stimulus package? And if
23 it's so, what will we need to focus on to be able
24 to do that?

25 So, is there a way to use this

1 opportunity we have in the next 90 days to bring
2 this technology to a point where it's more
3 involved in the 2020, more at the goals that Ed
4 mentioned earlier. Are we still talking about
5 maybe a poor kind of science project, not making
6 that large leap into changing the mixture of 2020.

7 Anybody.

8 MR. RASTLER: Well, Mike, I just started
9 to start this. I think there's a great
10 opportunity to kick start some activities in this
11 area. There's a number of technologies that can
12 be applied, as I showed, both in the bulk area and
13 in the distributed smart grid area.

14 And I think it would be a great
15 opportunity, if the stakeholders in California
16 could get alignment on a go-forward strategy here,
17 to take advantage of this opportunity.

18 It's also, you know, -- I'm trying to
19 figure out how to take advantage of the SGIP
20 incentive right now. That's also a great
21 opportunity. Because many of the IOUs in the state
22 have end-users that are eligible. And \$2 a watt
23 is a pretty significant incentive for that.

24 So, anyone interested in that I'd be
25 happy to talk to them later, but 5 million, that

1 is much more attractive to go after.

2 MR. GRAVELY: Right, I would agree. Any
3 other comments?

4 MR. MONTOYA: Yes, I think, you know, I
5 mentioned it earlier. I think, you know, getting
6 real-world experience on this technology is very
7 important. And I think we'd be ready to do that.

8 A couple of things that would need to be
9 changed. One is either the way the DOE allows
10 money to be spent versus, you know, having the
11 50/50 allocation between their money and your
12 other money. Or have some way to recover the
13 costs in these projects. It would be an important
14 factor to get.

15 MR. CAZALET: One thought along those
16 lines. We could go to the Cal-ISO and to FERC and
17 say, we want to put 50 percent of this
18 demonstration project in the transmission
19 ratebase.

20 You know, it's been a struggle to get
21 LEAPS into that ratebase. But there's a change in
22 attitude there. You have the leader of the demand
23 response movement now the Chair at FERC. And that
24 would spread the money all the way across
25 California.

1 Alternatively you go to the PUC and say,
2 okay, each of the utilities create a project for
3 the appropriate percentage and we'll go through in
4 the load-serving entities ratebase, or perhaps,
5 you know, a distribution ratebase.

6 But, or you could split it. But I think
7 you got to keep it simple. Probably the fastest
8 one is to work through FERC and the ISO, because
9 you're going to get a lot of federal support.

10 MR. GRAVELY: Okay, well, of course, one
11 of the challenges is we haven't gotten firm
12 guidance from DOE as what qualifies and how. It's
13 possible --

14 MR. CAZALET: Sure.

15 MR. GRAVELY: -- I would agree with you
16 it's possible with the accelerated interest you
17 get potentially some type of special cases or
18 pilot cases approved for these types of demos. So
19 it's certainly worth considering.

20 MR. CAZALET: Yeah. And I think it's
21 important not to think of this as a demo. But,
22 you know, the first step to commercialization.
23 Everybody's done demos. We want it -- it's really
24 critical that the manufacturers see a path that
25 they can invest in manufacturing capability, ramp

1 up power electronics manufacturers, et cetera.

2 And if it's just a one-of demo, they
3 lose money on every one of those. So, we need to
4 have a plan that California signs up to and let
5 the stimulus funds get it going.

6 MR. GRAVELY: Well, I would agree with,
7 in certain scales. But I would say a utility
8 scale, or a lot of companies that are interested
9 in that market, that have not performed in that
10 market, I think most people would like to see how
11 well they perform before they would say they were
12 ready for commercialization. I think most of them
13 see it as a stepping stone.

14 So, for a few minutes here, go ahead --
15 mike doesn't work, so just come to the mike right
16 here in the corner, if you don't mind, just so the
17 people online can hear you, also. And then we'll
18 try to answer a couple of questions. And then
19 we'll break for lunch.

20 MR. WASHOM: Thank you, Mike. I'm Byron
21 Washom from UC San Diego. I would just like to
22 bring out a point that you raised, and Dan, as
23 well, and that is DOE is talking about utility-
24 scale projects. And we have interchangeably used
25 that word with bulk.

1 And I think if you are interested in
2 expanding the California opportunities under the
3 stimulus package, we would look at utility-scale
4 to include not only bulk, but also wholesale DG
5 that has been discussed here this morning.

6 So, how low do you go with the
7 definition of utility-scale will have a large
8 impact on the amount of technologies,
9 applications, demonstrations and projects that you
10 could potentially have under the stimulus package.

11 MR. GRAVELY: I would agree with that.
12 And, of course, again we don't have specific
13 guidance, but there is also a smart grid demo that
14 could include smaller scale storage. But, again,
15 that's up to DOE.

16 And we have two of the California
17 Commissioners are in Washington this week
18 discussing with DOE those types of things, and
19 encouraging them to come out with a definition
20 that's broad enough for us to have this type of
21 opportunity. Thank you.

22 Other questions from the field? Anybody
23 have a question they want to ask? Go ahead,
24 either mike. You can go to either mike here.
25 Thank you, Byron.

1 MR. DUDNEY: I wanted to ask the group
2 here about IOU procurement processes. In
3 particular, I'm interested in the procurement
4 policies and how they interact with the
5 possibility of storage coming online. And is
6 there anything in the current IOU RFOs that
7 prevents storage? Are there -- if there was
8 further detail about utility needs in terms of, as
9 Walt mentioned, electrical characteristics, would
10 that be a sufficient incentive to get storage
11 bidding into those RFOs?

12 MR. GRAVELY: Could you identify
13 yourself, just for the people in the audience and
14 those online?

15 MR. DUDNEY: Sure, Kevin Dudney from the
16 CPUC energy efficient.

17 MR. GRAVELY: And you want to address
18 that?

19 MR. CAZALET: I'll speak from a party
20 that's attempted to participate in RFOs with
21 storage. And it's a major challenge. The whole,
22 if you look at the PPA, they've got heat rates and
23 gas prices and everything else under the sun.
24 Their whole process is set up, at least for the
25 all-source procurement, to work with fossil fuel

1 plants.

2 Their models typically will look at
3 on/off peak prices. You don't see any of the
4 five-minutes. The ancillary services come bundled
5 with the generation resource. In other words, if
6 you sell a fossil fuel plant in there, they expect
7 to get the ancillary services capability there.
8 But it's never been separately evaluated.

9 So, if, for instance, you wanted a PPA
10 for a lithium ion storage battery or flywheel to
11 sell to a utility, there's nothing in that
12 procurement process that would enable that at this
13 time.

14 So, in the same way we break out
15 renewables, I think we need to break out storage
16 as a distinct procurement, because it is so very
17 different.

18 And the same people, the people who know
19 how to do the renewables or know how to do the
20 analysis of the fossil plants, have to rethink how
21 they do storage.

22 MR. JOHNSON: And that reminds me, one
23 of the things we're doing with the next generation
24 of the system is to shift from -- or to expand the
25 resources that we can model from generation

1 resources to demand resources, where you've mapped
2 ramp rates to ability to get off the system,
3 things like that.

4 In some sense, wouldn't the storage
5 procurement be more analogous to a DR resource, in
6 a sense?

7 MR. CAZALET: Well, you're right, --

8 MR. JOHNSON: And fit into those kinds
9 of procurements more than the power procurements?

10 MR. CAZALET: Yeah, and we separately
11 procure DR by quite a different process, yes.

12 And at a high level you say how much DR
13 do we think we need, and can we afford it, is it
14 cost effective when they go about procuring
15 competitively. The whole industry's developed to
16 provide DR with a lot of competition in that
17 industry.

18 MR. JOHNSON: Right.

19 MR. CAZALET: I think the same thing can
20 happen with storage.

21 MR. GRAVELY: Thank you. There are a
22 couple of questions, just to wrap up, from the
23 line I'll answer. One of them was addressing
24 carbon footprints, which I think we'll discuss
25 this afternoon in some of the discussions.

1 The other two were specific issues, more
2 to the ISO and to EPRI. So I'll ask those before
3 you leave in case you're not here.

4 So, Walt, the question is, is the WECC's
5 reluctance to act on nongeneration asset policies
6 affecting the implementation of the CA-ISO's
7 energy storage pilot. If you don't want to answer
8 that's up to you, but at least that's the
9 question.

10 MR. JOHNSON: I can't say, to be
11 precise. I'm not aware that it is, but I'm not
12 particularly close to that. As I mentioned, we
13 have another individual at the ISO, Dave Hawkins,
14 who is really our lead on the storage and
15 renewables integration activities and these
16 pilots. And he would have to address that. So
17 we're going to have to take that offline, I think.

18 MR. GRAVELY: Okay. And then the last
19 question before we break for lunch is actually to
20 EPRI. And it says: With regard to the stimulus
21 dollars, aren't the EPRI compressed energy storage
22 pilot projects ready to go currently looking for
23 dollars?

24 So I guess the question is are you
25 shovel-ready, I guess.

1 MR. RASTLER: Yes. Those compressed air
2 projects are shovel-ready, they're ready to go.
3 It would be great to have additional stimulus
4 dollars to go with them. We do have at least ten
5 utility organizations forming a collaborative to
6 move those demonstrations forward.

7 So, with or without stimulus funding.
8 But obviously stimulus funding would be great.

9 MR. GRAVELY: Okay, thank you.

10 So we're going to break for lunch from
11 now till 1:30, for an hour. And in the afternoon
12 we'll talk with some of the vendor manufacturer
13 representatives.

14 And then we'll summarize and address
15 what we think we can do from the policy side and
16 the Commission side and the state side to help
17 move forward.

18 Thank you all very much.

19 (Whereupon, at 12:29 p.m., the workshop
20 was adjourned, to reconvene at 1:30
21 p.m., this same day.)

22 --o0o--

1 AFTERNOON SESSION

2 1:35 p.m.

3 MR. GRAVELY: What I'll do is, would you
4 just unmute everybody just for a second. We'll
5 meet everybody real quick and see if there's
6 any --

7 (Pause.)

8 MR. GRAVELY: Okay, we're going to start
9 back in the afternoon. Again, we will have open
10 public comment after this panel is over with. The
11 panel will stick around to answer questions. And
12 then we'll be also allowing everybody on the WebEx
13 to participate.

14 In the interim if you have a question
15 that comes up, I would encourage you to type it
16 into the chat session. We have someone monitoring
17 that. And then we'll bring that question up as we
18 go.

19 And so we're going to start the
20 afternoon session. In the morning session we
21 focused primarily on the customers or the end-
22 users or the utility requirement.

23 And so we all know and have discussed,
24 there are many challenges to storage on meeting
25 the needs of the future. And we're trying to

1 understand that.

2 We're also trying to understand what we
3 can do from policies and procedures and research
4 programs to encourage more storage to be applied
5 in California.

6 So we have a panel this afternoon of
7 manufacturers and integrators and individuals that
8 represent a series of storage manufacturers or
9 companies.

10 And so we want to hear, I guess, the
11 vendor manufacturing side. What does it take for
12 them to be interested in California? What does it
13 take for one of these systems to be put in?

14 And, again, we're focusing primarily on
15 utility-scale systems today, as opposed to
16 residential and home systems, even though we have
17 hear later from ICE Energy, as I mentioned
18 earlier, because they have received some
19 incentives and they have received some legislative
20 help. But, I -- maybe I'm wrong, but my
21 perspective they haven't received the market
22 acceptance that they anticipated on some
23 incentives going.

24 So one of the questions we talk about
25 this afternoon is what types of incentives would

1 be productive in encouraging a larger penetration
2 of storage to support us for the renewable
3 portfolio standard of 2020.

4 Our first presenter today is going to be
5 Charles Toca representing vanadium redox
6 technology. This is obviously, there's some sense
7 here that the presenters will give you a little
8 bit of their technology overview and we will
9 tolerate a little bit of that, but I'm trying to
10 avoid too much of a sales pitch.

11 So, understanding the differences in the
12 technologies, I think, is important. But also we
13 want to get into the issue that's common to all
14 technologies. And they all have a similar
15 problem, and that is how to get paid for their
16 system. How to do the business case to make it
17 work. And how to value what they provide the grid
18 and what they provide a utility and what the
19 provide the customers.

20 So, Charles, I'll let you start us off
21 here. I'll get your presentation here.

22 MR. TOCA: Mike, thanks for the chance
23 to participate in this meeting. I won't do a
24 sales pitch, but I think it is important to talk
25 about the context in which I'm looking at this

1 problem, which is, you know, how do we remove some
2 of the barriers and get this into the system.

3 I don't know how you picked me to be
4 first. There's people here that are much smarter
5 than I am in explaining this, but I appreciate the
6 opportunity.

7 If you listened in to this morning's
8 session I think a lot of the issues were surfaced.
9 I was very encouraged to hear about the buckets,
10 bins and boxes that were discussed; the different
11 advantages and uses of energy storage, and some of
12 the barriers there.

13 I would like to touch shortly on the
14 vanadium redox battery system, the current status
15 of that technology. There's no point in talking
16 about barriers to technology if we don't know what
17 some of the technologies are. And then what I see
18 as one of the issues that we could resolve.

19 Prudent Energy is the owner and vendor
20 for the vanadium redox battery system. They are
21 based in China and they are the global leader of
22 this advanced energy storage system. This
23 information here you have already in your
24 handouts, as well.

25 It's well capitalized. The company is

1 very deep in terms of their technology and the
2 staff they have available.

3 They purchased the VRB technology
4 developed by VRB Power Systems in Canada. And
5 that is a follow-on to all the work that was done
6 by Sumitomo in Japan.

7 One of the real advantages now with this
8 particular system and orientation is that we're
9 able to bring low-cost manufacturing to the
10 technology; it's fairly well developed.

11 Again, since merged companies, merged
12 technologies, we have Regenesys, VRB Power,
13 Sumitomo, 15 years of work on this particular
14 technology. With low-cost manufacturing we think
15 we'll be able to provide this technology in bulk.
16 And some of the prices that we keep hearing are
17 needed for this kind of technology.

18 A little background on the system. It's
19 been around for a long time. The vanadium redox
20 battery patent goes back to 1986. Been a lot of
21 study done on this. We have systems already in
22 place, including in the United States.

23 I think some of you have already seen
24 this graph. In just a quick overview, the flow
25 battery technology is different from your -- acid

1 kind of technology. The electrolyte is stored in
2 tanks. The tanks maintain the energy. If you
3 want more energy storage you get bigger tanks for
4 the electrolyte. The electrolyte in this system
5 is a sulfuric acid with vanadium as the secret
6 sauce, the magic ingredient. Provides you with
7 electrolyte that never wears out. Has high
8 residual value, very low maintenance, deep cycles.

9 The formula for this is shown at the
10 bottom. You basically have identical tanks of
11 electrolyte which just simply share electrons
12 through a proton exchange membrane.

13 The key factors of this particular
14 technology for looking at the barriers are the
15 fact that you have two parts to this, which is the
16 capacity and the storage, itself.

17 We have power cells through which the
18 electrolyte flows. The more cells you put into
19 your system, the greater capacity you have. The
20 electrolyte is stored in tanks. The more
21 electrolyte you have in tanks, the more storage
22 you have.

23 So you got a 5 kilowatt system to a 10
24 megawatt system. You could have 15 minutes of
25 energy storage to six, eight, ten hours of

1 storage, depending upon how much electrolyte you
2 have.

3 The original concept was to build it
4 onsite using very large energy cells, 50 kilowatt
5 energy cells, which are developed by Sumitomo.
6 The last five or six years it's been a change.
7 Now they're built in a modular fashion using small
8 energy cells; 5 kilowatt systems that are mounted
9 into racks, can be loaded into a container and
10 delivered to the site.

11 The original application, the biggest
12 application for the system was at windfarms. You
13 can take a look at this picture here. This is a
14 four megawatt system at a windfarm in Japan. It's
15 over three years old, in operation. They've had
16 270,000 cycles in the last three years of
17 balancing the wind.

18 If you want bulk storage in the range of
19 20 megawatts just picture four of those buildings
20 at your site, at your windfarm site. It's easy to
21 see how that could be accomplished.

22 And it's been used there for wind output
23 smoothing. This is a day in the life of a
24 windfarm. The blue line is the charging and
25 discharging of the battery to match the generation

1 and lack of generation from the wind turbine at
2 the top, which is the green line.

3 Again, the purpose of this particular
4 application was not peak shifting, but simply
5 smoothing out of the power. The sizing of this
6 was about 20 percent of the wind farm's capacity,
7 which keeps the cost down for this particular
8 application.

9 You can see during the course of the day
10 the battery matches, kind of in mirror image, the
11 generation of the turbine providing you with a
12 nice smooth output at the very top.

13 So that's the information about the
14 system. Happy to explain more of that if anybody
15 has any more questions about the system.

16 But I want to talk about, from my
17 viewpoint, how bulk storage is like an elephant.
18 This goes back to the boxes, bins and buckets
19 we've been talking about today.

20 Energy storage is a lot of things. What
21 I keep hearing from, I think, many of the
22 companies that would be interesting in taking on
23 the technology, is they seem to look at it in one
24 dimension. Sort of like the proverbial blind man
25 coming across the elephant.

1 They see it as either, an elephant's
2 either a rope or it's a tree, or it's a shield,
3 it's a spear. They see energy storage the same
4 way, you know. It's transmission, it's VAR
5 support; no, it's a peaking generator; no, it's
6 demand response.

7 How can we, you know, can we push this
8 energy storage in. And, in fact, it's a very very
9 large neat system that does a lot of neat things.

10 So, my challenge in being able to
11 present this and to find places to put this system
12 in is finding the value stream that would pay for
13 the system. You're going to hear this again from
14 other folks here on the panel. You heard it all
15 this morning.

16 You know, we've looked at the Cal-ISO
17 ancillary services markets, -- regulation,
18 spinning reserve, energy markets, capacity
19 benefits

20 Utilities, it can be used for demand
21 response. You know, it's great for TOU rates for
22 price arbitrage. Could be used as a peaker plant,
23 you know, on and on and on.

24 The problem is that if you want to put
25 the energy storage in one of these applications

1 it's pretty much a merchant plant operation. You
2 have to say, well, yeah, there's value there; and,
3 yeah, we can make money doing this energy storage
4 plant, but, you know, you really can't count on
5 that in terms of a string of revenue that you can
6 monetize and take to your investors.

7 So, we've always felt -- I've always
8 felt that a contracted service would be easier to
9 finance than a merchant plant. If you want to
10 deploy these systems we need to be able to show an
11 investor a return for their money. A merchant
12 plant is tough to finance.

13 So, here's an idea. We've already
14 talked about this this morning. We'll talk about
15 it some more as the day goes on, but you know, why
16 don't we have a system or opportunity for the
17 utilities to contract for power and services.

18 Now, we have contracts for biomass
19 plants; we have contracts for energy from
20 renewables. You know, why not a contract some of
21 the services that an energy storage plant can
22 provide. And pick one of these items. Pick
23 peaking, you know; pick ancillary services, I
24 don't care. Leave it technology neutral.

25 If the utility would say, look, I don't

1 care if it's a biomass plant, I don't care if it's
2 a wind turbine, I don't care if it's an energy
3 storage plant, we are already paying costs for
4 peaking, we're already paying costs for ancillary
5 services.

6 Let's have someone respond to an RFP;
7 give us their best price for ancillary services
8 within the next five to ten years; and sign a
9 contract with that resource.

10 If the resource happens to be energy
11 storage, great. The advantage to that is if you
12 monetize one part of the elephant, say the
13 ancillary services part, you're going to get more
14 elephants.

15 Now you can actually go out there and
16 get financing for a large plant, which means you
17 can get financing for a second plant and a third
18 plant. And once you've got more of those
19 elephants out there, now you get more of the
20 elephant benefits.

21 Just one quick example here. Frequency
22 regulation, Cal-ISO makes the information on
23 frequency regulation public, it's not a secret.
24 The utilities are all incurring costs for
25 frequency regulation ancillary services.

1 If you would do a long-term contract
2 with bulk storage you have now contained your
3 cost, because almost all the cost of bulk storage
4 is capital expense.

5 Now the storage facility, like a
6 generator, can go to the markets. And with this
7 agreement they get financed and installed. And
8 quickly. We don't have to worry about all the
9 studies and this sort of thing. The entrepreneur
10 can take the risk; do the creative thinking; go
11 out there and find the investment and get the
12 energy storage installed.

13 Now, once it's installed and providing
14 services to the utility that contracted for it,
15 it's also able to do all the other things that we
16 know energy storage can do. For example,
17 providing fast ramps, wind smoothing.

18 If we put one of these at a windfarm for
19 ancillary services we could also provide
20 smoothing, as well.

21 Reactive power; voltage support; peaking
22 power when needed; emergency power; black start.
23 We can build these things, -- the only builder
24 that can do this. We can build these in 5 to 20
25 megawatt distributed systems. Be easy to get 120

1 megawatts out of our particular application in two
2 to three years.

3 So this is just an idea. It's one of
4 those we've floated before. I appreciate Ed
5 Cazalet's suggestion which I think really
6 crystallized the idea of having an RPS goal. The
7 technology is there; the technology is available.
8 We just need to find a way to monetize some of the
9 benefits so the investors can pay for it.

10 And let the utilities keep working on
11 their projects, but leave this as an opportunity
12 also for fairly rapid installation of these kinds
13 of technologies.

14 So, where do you want to start? Which
15 part of the elephant do you want to take on first?

16 Thanks.

17 MR. GRAVELY: Since we're having a panel
18 there will be time for questions as we go through.
19 So we'll go ahead and cover the presentations.

20 I will point out that we have two
21 individuals already who have requested, during the
22 public session, to make a short presentation and
23 provide information.

24 So, if anybody in the audience wants to
25 present during the public session, other than just

1 a question-and-answer period, please bring your
2 blue card.

3 There are blue cards in the back there.
4 If you'll fill one of those out and bring them
5 here to Brian, we will get you at the podium here.
6 And then later in the afternoon we'll be just
7 using the mike, or using one of the speakerphones
8 for questions and answers from them.

9 I'd now like to go to our next speaker.
10 I think most people in the industry understand
11 that sodium sulfur batteries have the largest
12 concentration in the world of systems, and the
13 largest systems operating.

14 And so Harold is going to come talk to
15 us today about his involvement from the U.S. side
16 with that, and then some experiences they've had,
17 which are very relevant, I think, in both
18 installing and operating utility-level systems.

19 And then also some of the ones that they
20 thought would be installed and operating already
21 that are still in the design or install phase.
22 Harold.

23 MR. GOTSCHALL: Thank you, Mike. As
24 Mike said, my name's Harold Gotschall, Technology
25 Insights, here on behalf of NGK Insulators. And

1 I've been encouraged by all parties to move
2 through this crisply.

3 I'm going to take you briefly through an
4 overview here. Some 300 megawatts of NaS
5 batteries have been deployed to date, nominally
6 six to seven hours, yielding that output of about
7 2000 megawatt hours in the field.

8 In this country we've got nine megawatts
9 operating. That would be four systems for
10 American Electric Power, one each for eXcel and
11 New York Power Authority.

12 The real focus of my comments today,
13 though, as a fact that last year we had ten
14 megawatts in queue that have been delayed from six
15 months to a year. We would attribute to the U.S.
16 regulatory issues.

17 And we're going to get to it in some
18 detail, but it comes back to the vision of
19 combining functions versus the reality in the
20 regulatory world.

21 We also believe that this is not unique
22 to sodium sulfur. This is an issue that would
23 confront any, we believe, distributed energy
24 storage system. And the candidates include our
25 colleagues here at VRB, the other flow batteries

1 and so forth. And possibly Case.

2 To that extent we believe these are
3 barriers that deserve policy action in order to
4 move toward California's RPS goals and smart grid
5 -- excuse my voice.

6 Very briefly, so we're communicating
7 about units here. The configuration on the top
8 left is a one megawatt system, nominally rated at
9 six megawatt hours per cycle, 300 cycles a year,
10 15 years. Footprint of three-by-ten meters, and
11 about five meters high. So when I say a megawatt
12 that's what I mean.

13 Quick timeline. Significant point on
14 the origins. This technology is an outgrowth of a
15 utility, Tokyo Electricity Power, who chose the
16 electrochemistry 20-odd years ago. The initial
17 target at that time was distributed energy
18 storage.

19 By the late '90s a six megawatt unit had
20 been installed in a substation for Tevco. Ten
21 years later almost the first one megawatt unit was
22 deployed in this country.

23 Part of the agony of this business is
24 the very slow sales cycle. Very slow progress for
25 market development, not only in the United States

1 but also in Japan.

2 I'm going to now move forward to what
3 I'm calling the barriers and issues component of
4 this presentation. And I've coined some
5 terminology here that I think is understood by
6 everybody here.

7 It's the delineation between market
8 services, those services which can be traded
9 through an organized ISO market such as energy,
10 ancillary services and so forth, and those
11 services that I've called grid services. It
12 relates to functions pertaining to feed
13 reliability, upgrade and deferral and so forth.

14 What we found in these case studies I'm
15 about to summarize was that the owners were
16 prevented by regulations, if you will, from
17 combining -- from accruing the benefits of the
18 combined functions. And as I noted before, this
19 would apply to other technologies of a similar
20 type. That is megawatt scale, multi-hour.

21 In the spirit of political correctness
22 I've now moved from NaS to DES for the benefit of,
23 I think, communication here. Went through very
24 quickly three case studies.

25 The first was a six megawatt unit

1 purchased by a California IOU. That has been
2 delayed for about a year.

3 The second is a four megawatt unit that
4 is in the process of procurement by a Texas
5 utility. It has been delayed about six months.

6 And the third is an experience by an
7 independent storage developer. In which case the
8 developer found that the IOU that was evaluating
9 the RFO, request for offer, was not prepared to
10 consider the combination of benefits.

11 Now, this slide gets a bit tedious, so
12 very briefly, about a year ago, first of February,
13 the California IOU purchased a NaS system. Weeks,
14 actually less than two, before they were scheduled
15 to be shipped from Japan we received the advice
16 that the California utility was facing the
17 challenge of establishing the precedent for
18 battery energy storage system as a transmission
19 asset recoverable in the transmission access
20 charge.

21 Now, understand, as a vendor we're kind
22 of looking through a foggy keyhole here to
23 understand what that meant. The closest we could
24 come is the second statement attributed to a FERC
25 ruling on another storage technology which held

1 that that asset may not be operated and/or managed
2 by the California Independent System Operator
3 Corporation. That means they can't participate in
4 the market, I think. Or functionalized as
5 transmission for rate recovery purposes. That
6 means they can't take advantage of the asset from
7 the standpoint of reliability or of -- deferral, I
8 think.

9 That has led to a delay of that project.
10 And right now it's still in planning as far as
11 what the next step may be.

12 Second case. A Texas IOU T&D company
13 received ERCOT approval for a four megawatt
14 installation for the purposes of reliability. The
15 point here is that there was never a part of the
16 application that was looking for market services.

17 Nonetheless, the ERCOT review process
18 resulted in a situation where the market
19 participants, that's IPPs in the ERCOT world,
20 filed objections. And the underlying part of that
21 statement held that they thought it was
22 inappropriate for the IOU T&D company to
23 effectively take ownership while it is stored in
24 the battery.

25 So we're back to this separation of

1 generation and transmission, and whether that
2 control of energy is appropriate for the T&D
3 company. Same as the previous point, I think.

4 Now, the policy part of that is we have
5 very recently learned that the, after being
6 referred to the PUC, the Texas PUC, that they have
7 agreed that the initial project can proceed, after
8 a six-month delay, for the purposes of grid
9 functions.

10 The third case pertains to an
11 independent storage developer. This is the
12 storage counterpart of an IPP in our frame of
13 reference.

14 In this case the developer was
15 responding to a California IOU RFO; based the
16 proposal on combined market and grid services.
17 Went through an extensive evaluation process
18 basically to learn at the end of it that the IOU
19 was really only in a position equipped, if you
20 will, to allow for values on the market side.

21 In other words, the grid services, the
22 increased bid -- reliability, or T&D deferral,
23 were not accepted.

24 So, in summary, what we're taking out of
25 this is that in case one, FERC appears to be

1 denying both market and grid services to a T
2 utility owner.

3 In case two, the reviewers, in this case
4 Texas PUC, agreed to the use of the storage asset
5 for the purposes of reliability. The market
6 question was not addressed.

7 And in case three, we found, again,
8 where storage could be accepted from the
9 standpoint of the market side, but the grid side
10 was ignored.

11 I think I'll pause here just to make an
12 observation gained this morning. And I'll
13 attribute it to Ed Cazalet. His points on the
14 need for a change of way of doing business, RPS,
15 is the mechanism that you all heard him describe.

16 It's a way that may be necessary, if you
17 will, to change the culture for the consideration
18 of storage. And I put that out as a personal
19 commendation to Ed on one hand, and on the insight
20 I think I've come to here today.

21 The following chart I've tried to
22 represent here first the three cases illustrated
23 in the boxes that we have explored market
24 channels; and the obstacles that we encountered in
25 each of those cases.

1 In other words, we've been in the top
2 left, case one with a T utility in California.
3 Case two, a T&D utility in Texas. And case three,
4 an IPP equivalent. In other words, an unregulated
5 market participant.

6 Now, the question of where does all of
7 this take us as far as RPS goals in California.
8 The implementation of the smart grid is a very
9 real need to open these market channels so that
10 the owner, whoever it is, can accrue combined
11 functions from the asset.

12 The point here is, I think, obvious to
13 us all. We are talking about new tools and new
14 markets, and we're dealing with a regulatory
15 structure that's firmly rooted in generation. And
16 firmly rooted in a distinct separation between
17 generation and T&D functions.

18 So the appeal here is for groups like
19 this to initiate policy action. And we really
20 don't have the capability to give much advice in
21 that area. But as an opinion, I think doing
22 business as usual you're going to get the same
23 answers.

24 We have to get to the point where
25 planners can routinely evaluate the benefits of

1 those combined functions.

2 Real quickly, responding again to some
3 of the questions that were in the CEC notice, the
4 locational benefits, we believe, for a distributed
5 energy storage technology like NaS is proximate to
6 load, equipped to deal with the renewables time
7 shifts, particularly wind. Doesn't matter where
8 you are on the grid. Offpeak wind generation can
9 be stored and discharged during peak demand
10 period.

11 The other key point in terms of locating
12 proximate to the load is we gain the benefit of
13 charging the battery during the offpeak period, of
14 taking load off of the T&D assets.

15 And the third point of locating it
16 proximate to the critical load and the customer is
17 his enhanced reliability. And accruing those
18 benefits is essential for most of these
19 technologies to make economic sense.

20 Final slide. Most of the timelines that
21 envision smart grid include storage. And I've
22 circled here the ones that to me are obvious
23 applications. And they all appear early.

24 From our experience, both here and in
25 Japan, if you want storage to be deployed in four

1 or five years you'd better start now. Because
2 there is this institutional learning process of
3 what can it do, and how does it fit into the
4 system.

5 Second point is none of us started in
6 this business to sell one megawatt or two megawatt
7 units. We need to be working in networks of tens
8 and hundreds of megawatts.

9 So part of this scale-up has got to take
10 that next step before this will become a
11 meaningful option for T&D planners.

12 Any questions? Take them now or take
13 them later.

14 MR. GRAVELY: I'm going to take
15 questions when the panel is done. Thank you very
16 much. It was a very good job of helping us
17 understand the issues that you're facing.

18 And I will mention for those that aren't
19 aware, that the Energy Commission, through the
20 Public Interest Energy Research program has been
21 involved in many of these technologies. And there
22 is information, for those that are interested, on
23 our website. And also through contacting our
24 office on some of those projects that we're doing.

25 One of the reasons we're so active is

1 we've been involved for the last five years in
2 these technologies, and we are seeing firsthand
3 some of the challenges, even though most of our
4 focus in the past has been technical challenges.

5 Next speaker today will be Rob Parry
6 representing the technology zinc bromine
7 batteries.

8 MR. PARRY: Thank you very much, Mike,
9 for the opportunity to be here and address this
10 forum this afternoon. And I think we're starting
11 to hear a similar message emerging from other
12 energy storage developers.

13 ZBB is also a flow battery manufacturer.
14 We are a U.S. corporation; we're based in
15 Wisconsin. Our technology is a zinc bromine flow
16 battery. We circulate electrolyte from two tanks
17 through cell stacks. And our chemical reaction is
18 a process of electrode plating. It's a zinc
19 bromine electrolyte.

20 We have a building block of a 50
21 kilowatt hour module. We then package that into
22 either a 50 kilowatt hour storage system, or a 500
23 kilowatt hour storage system. But structuring
24 numbers of modules in series and parallel
25 configuration. It is a modular transportable

1 system for rapid deployment. And our market focus
2 is on transmission and distribution network
3 support, and primarily on the distribution side.
4 We're down in the network distributed.

5 A couple of fellows that haven't come up
6 there, renewable energy optimization, smart grid
7 and electric vehicles. And I've got some slides
8 that'll just elaborate on those.

9 For the transmission and distribution
10 network support, the ability to mitigate
11 congestion, deferring substation capex,
12 expenditure when you've got a substation nearing
13 its maximum capacity. Typically that the load at
14 maximum capacity only occurs usually summertime
15 here in California when everyone's got air
16 conditioning on. But somewhere between 2 or 3
17 percent of the total asset utilization causes a
18 hundred percent of that problem. It's a
19 distributed -- a distributed resource out on the
20 network, a peak shaving device, if you will.

21 For renewable energy it's really the
22 ability to try and balance out the time
23 differential between that period of generation to
24 the period of maximum demand. I think everyone
25 realizes 3:00 a.m. wind energy is really lost in

1 terms of its value.

2 If we could use that energy at 2:00
3 p.m., 3:00 p.m., 4:00 p.m. in the afternoon that
4 would be wonderful. We'd get much better value
5 out of that wind energy. The problem being when
6 it is hot is usually when the wind's not blowing.

7 And also the ability to smooth the
8 delivery into the network by utilization of
9 storage systems. A more levelized approach to
10 taking out some of the spikes that we saw in the
11 earlier graph. Use the energy storage system as a
12 bank or a sink to absorb spikes and to fill in
13 dips.

14 Smart grid is really going to require
15 the use of an energy storage system to optimize
16 all of these information devices and meters and
17 opportunities that will arise through pricing
18 policies. So we believe that the evolution of
19 smart grid will depend on cost effective energy
20 storage.

21 I mentioned electric vehicles. We don't
22 see ourselves as being a drive mechanism for
23 electric vehicles. What we do believe, however,
24 is that these vehicles will require recharging at
25 both ends of the journey, either at home or at

1 work. Wherever that vehicle finishes, it will
2 require some form of recharging.

3 When we go to an electric transportation
4 system, which I believe we will in the future --
5 where that point might be, I'm not sure, but I
6 think it's coming -- we're going to see some
7 unique problems arising for our utilities when
8 thousands upon thousands of electric and hybrid
9 electric vehicles plug to the grid to recharge.

10 We believe a storage system, typically
11 coupled with solar or other renewable assets, or
12 even charged from the grid during offpeak hours
13 will provide a recharge station at a domestic
14 level, and also at a commercial/industrial level.
15 And ZBB seeks to play into that market, as well.

16 So, coming to really the nexus of this
17 discussion today is what are the challenges and
18 what are the barriers that we see facing energy
19 storage, and particularly ZBB's products.

20 Well, I think the words are different
21 but the message is going to be the same as what
22 we've just heard. We need to be able to recognize
23 the complete value or the true value of the energy
24 storage system to all of the beneficiaries in the
25 chain from generation through transmission and

1 distribution to the end-user.

2 We don't have an ability to aggregate
3 the total benefit from the storage system. And
4 when we come to looking at a return on investment
5 for the person that's ultimately trying to put
6 this storage device online, his benefit may only
7 be part of the true story of storage. So we've
8 got to find a way to be able to aggregate the
9 benefits and get that benefit to the ultimate
10 owner of the equipment.

11 Another challenge that we see is
12 actually the acceptance of new technology
13 solutions to replace existing and traditional
14 methods. You know, we've got an infrastructure
15 for our energy delivery, a transmission and
16 distribution system that's being filled up over,
17 you know, a hundred-odd years.

18 And it's still, today, operating like it
19 was a hundred years ago, albeit that it's grown in
20 size and the problem has compounded because of
21 that. Until we actually get our utilities
22 thinking about new solutions to existing problems
23 I believe that, you know, that barrier is still
24 going to be there.

25 Predictability. You know, one of the

1 things we've got with renewable energy is
2 unpredictability as to its generating
3 capabilities. Storage actually provides a
4 predictability of being able to give energy when
5 we need it. We need to be able to value that so
6 that the cost of the equipment going in can earn
7 its return. The investor can be repaid for the
8 investment that he makes.

9 That predictability, if we can solve
10 that, will go a long way to helping grid
11 stability. Being able to make sure that renewable
12 energy, at the time that it's generated, can be
13 fed to the grid; or it can be held and fed to the
14 grid when it's needed. So predictability and grid
15 stability we see going hand in hand. They need to
16 be recognized.

17 Regulatory measures. California is very
18 proactive, and we're certainly aware of
19 legislative measures that are going through the
20 House at the moment. These sorts of measures are
21 required. I don't think anyone sets out to build
22 a business around rebates, but the rebates help
23 defray the costs when we've got new technologies
24 and new solutions coming to the market.

25 And, you know, we've seen it with solar,

1 we've seen it with wind, and I think storage is on
2 the same pathway. But still several years behind,
3 where those renewable energies were in their
4 development stream. So we do need some support
5 along the line.

6 We also need what I call cultural change
7 in our thinking and our acceptance. And we need
8 to introduce this into our education systems. And
9 we need to have this bold legislation that
10 recognizes that these challenges exist.

11 In the area of smart grid, in the area
12 of distributed energy storage, distributed
13 resources versus the centralized platform,
14 awareness programs to highlight the strengths and
15 weaknesses of renewable energy and the possible
16 solutions. And, again, from this panel's
17 perspective, how energy storage fits into that
18 marketplace.

19 We have RPS targets. You know, we hope
20 to achieve 30 percent or 33 percent by 2020. But
21 installed capacity, just installing renewable
22 energy doesn't achieve those targets. We need to
23 recognize the efficient use of that energy and the
24 measure of when we've achieved that target really
25 is are we using the energy that those assets can

1 generate, or are we actually spilling it and
2 losing it. So, storage really does create an
3 efficiency for renewable energy. And we'll get
4 our RPS targets, but it will take storage to help
5 us along that way.

6 This final bullet point. Acceptance
7 leads to volume. Acceptance of new solutions, the
8 ability for utilities to invest in storage, or
9 independent operators to invest in storage and
10 earn a return, will also help to develop and sell
11 more product. So, acceptance of the technology
12 will lead to volume for manufacturers. Volume
13 leads to cost reduction. Cost reduction benefits
14 all.

15 In conclusion, I would like to
16 acknowledge that ZBB has projects running in
17 California. We are supported by the California
18 Energy Commission. We've got a megawatt hour of
19 system that's owned by the CEC. And we've run a
20 program with PG&E over the previous summers.

21 We see this marketplace as being
22 absolutely vital in our development. We think
23 that California provides a great opportunity for
24 job creation and education and penetration of this
25 market with energy storage.

1 We are a member, a foundation member of
2 a small group called the California Energy Storage
3 Alliance. And we will hear from Janice Lin later
4 in this presentation. So, Mike, thank you very
5 much.

6 MR. GRAVELY: Thank you. Our next
7 speaker today is coming --

8 (Pause.)

9 MR. GRAVELY: So while we're doing that
10 we'll hear from the next two speakers, and like we
11 had before I want to have a discussion period with
12 the panel members primarily, and then a chance for
13 the audience to ask questions of panel members in
14 a general discussion.

15 And then we'll go into the open
16 presentation, open discussion session. So we will
17 -- that'll be pretty much the way we'll flow the
18 afternoon discussions.

19 (Pause.)

20 MR. LYONS: Well, Mike, while that's
21 loading I can --

22 MR. GRAVELY: Yeah, go ahead and make
23 some introductory comments. We'll get that
24 started.

25 MR. LYONS: Tell a short story. Mike,

1 he threatened me; he said, you absolutely cannot
2 make a sales pitch at this thing. So I took him
3 very literally and I expunged any reference at all
4 to flywheels in my presentation.

5 And now I'm beginning to feel a little
6 cheated in that. So I thought it was --

7 MR. GRAVELY: Bring out some pictures of
8 our projects we did with --

9 MR. LYONS: There we go. I thought I
10 might start off by at least telling you, you
11 probably know what a flywheel is, but just in
12 case, it's a type of mechanical battery that
13 stores energy inertially in a rotating mass.

14 And in our case the flywheels are very
15 big. They're about seven feet tall and about
16 three feet wide. They operate on a speed range
17 between 8000 and 16,000 rpm.

18 The spinning part is made out of high
19 tensile strength carbon composites, and glass,
20 oddly enough. It's all kind of glued together
21 with epoxy. And the whole thing is levitated on
22 an electromagnetic bearing. And it's in a vacuum,
23 a very high vacuum.

24 So it's a very interesting piece of
25 technology. It kind of brings out anybody's inner

1 geek, you know, for sure. So that's what a
2 flywheel is.

3 MR. GRAVELY: Could you check, because
4 that mike is a little -- try and get closer to the
5 mike, or bring it up higher.

6 MR. LYONS: Okay, I'll try to get
7 closer.

8 In our case we put -- not working --

9 (Pause.)

10 MR. GRAVELY: It should work now; let's
11 try it again. There you go.

12 MR. LYONS: Not only did Mike threaten
13 me, now he's sabotaged my presentation.

14 (Laughter.)

15 MR. LYONS: So, thank you, Mike. Again,
16 I took a very literal interpretation so actually
17 kind of wrote the questions down that Mike sent.

18 And I guess -- I've got 14 slides, but
19 this kind of summarizes all 14. And the most
20 important constraint for us in terms of going to
21 scale in California is that California ISO needs
22 to go ahead and comply with FERC order 890.

23 FERC has basically ordered all the ISOs
24 to allow so-called nongenerating resources into
25 the regulation market. A number have complied.

1 And, you know, just say that after a really
2 brilliant start of the California ISO and also the
3 Commission and the Department of Energy and
4 NYSERTA (phonetic), all participated in a couple
5 of live demonstrations of the technology.

6 In this case one was on PG&E. Operated
7 for a year and a half. Worked tremendously well.
8 California ISO actually went so far as to certify
9 that the technology was ready to go.

10 And they weren't wrong in that. It's
11 now operating commercially in ISO New England.
12 And just a little jump ahead, you know, again if
13 these other ISOs can do it, certainly California
14 ISO can finish what it helped to start.

15 But New York ISO has filed its tariff
16 which specifically is built around energy storage.
17 And this includes fast regulation, batteries and
18 flywheels.

19 ISO has its pilot working. What am I
20 missing here -- and Midwest ISO actually filed the
21 world's first energy storage tariff for frequency
22 regulation.

23 So, at this point it's time for
24 California ISO to catch up. Just kind of throw
25 that challenge out there.

1 Certainly we hear about software is also
2 a constraint. You know, it's not like searching
3 for perpetual life. You just kind of rewrite it
4 and it works. So that's a constraint that I kind
5 of think we can get done.

6 Someone mentioned earlier lack of long-
7 term contracts. That certainly would help any of
8 this technology get paid for. Charlie, I think it
9 was you that mentioned that. It's a very very
10 good point.

11 Because we have kind of chopped up the
12 utility industry, this is harder to do now. But
13 maybe we should be rethinking about this whole
14 thing. It is very capital intensive, but it has
15 almost no variable costs.

16 Lack of project financing, either
17 limited or nonrecourse. In case anybody hasn't
18 noticed, the capital markets have pretty much
19 collapsed globally. So not only is there no
20 project financing, there's basically no equity
21 financing.

22 So in our case we're able to build this
23 year another five or six megawatts off of our
24 balance sheet, but that's pretty much going to be
25 it until we hopefully get the DOE loan guarantee.

1 So something that addresses that, you
2 know, we could talk about all these other things
3 till the cows come home, but unless we get the
4 basic capital markets fixed or find some other
5 device to capitalize this capital-intensive gear,
6 not going to happen.

7 If you're a practitioner, you know, when
8 you really get into building it you try to figure
9 out what kind of tax treatment it's going to get.
10 It's a labyrinth out there. There are more
11 "Catch-22s" in the tax code than you can possibly
12 imagine.

13 I'd like to just say that storage should
14 get basically the same stuff that wind and solar
15 is getting. Wind and solar has a five-year makers
16 depreciation. Storage should certainly get that,
17 because it enables both of those. It doesn't, it
18 gets seven year, because it's undefined in the tax
19 code.

20 And probably everybody's going to sleep
21 already, but you'd be amazed at how important this
22 is.

23 Also in the stimulus bill there's a 30
24 percent investment tax credit for, again, our
25 friends wind and solar. There's no such thing for

1 energy storage. Why not? You know, we're trying
2 -- on a federal level we're trying to really
3 promote this stuff. Is it really that hard to
4 convert national policy into the tax code?
5 Apparently it is. Okay, but this is something
6 that even the Commission could perhaps help out
7 on.

8 And then again, lack of subsidies for
9 initial large-scale commercial projects. A lot of
10 incredible technologies, nuclear being one, had
11 some subsidies in the beginning to help get it
12 going. That would help here, too.

13 We know that storage reduces systemwide
14 regulation capacity, or at least a study has been
15 done that talks about that happening. We know
16 that it can double as a ramping resource and we
17 know that it uses a lot less fuel. When you burn
18 fuel you make CO₂, so it's a much lower CO₂ kind
19 of thing.

20 The study that I'm referring to in terms
21 of regulation effectiveness, you've heard several
22 presenters talk about the 2X effect; how fast-
23 response energy storage, on average it's like two
24 times as effective as slower fossil.

25 In fact, it depends upon the technology

1 that you're talking about. If you're talking
2 about combined cycle versus fast-response storage,
3 or steam turbine, it's 17 to 15 times better.
4 This 2X effect is actually the average portfolio,
5 regulation portfolio, in California, which
6 includes fast hydro.

7 So it's even more -- it's even much
8 better, you know, than it's being represented.
9 And I recommend this study to you. You can go to
10 the slide, and at the footnote you can see it.
11 It's all there in black and white.

12 So what else can storage do? Fast-
13 response storage can certainly do frequency
14 response reserve. So, if there's a contingency
15 event, the squirrel gets vaporized and a whole
16 transmission line goes down, fast-response storage
17 can immediately throw everything it's got within a
18 second or so to help support the grid. Doesn't
19 need any additional technology development.

20 It can also do VAR control since it's
21 inverter-based. And it can do something called
22 angular stability control. It's a very nice
23 application. It has the potential to help prevent
24 a wide area blackout.

25 So, mentioned that it can lower the

1 capacity requirement for regulation by 40 percent.

2 And obviously costs.

3 I'm going to kind of jump through this
4 to this important slide. This is the CO2
5 reduction. And compared to gas caseload, fast
6 response included, again, batteries and flywheels,
7 would only have about half of the CO2 footprint.
8 Compared to coal, it would only have about one-
9 fifth. In other words, 80 percent reduction in
10 CO2. You know, why aren't we doing this? I mean
11 it just makes sense.

12 It doesn't really make sense to throttle
13 these big thermal plants up and down like they
14 were little toy cars. You know, that's not what
15 they are. And when you do that you really hurt
16 the heat rate; it's much less efficient. We
17 should be doing it in a different way.

18 You know, the question was posed do
19 intermittent resources actually increase the need
20 for regulation in ramping. This is California
21 ISO's own study that says that it does. In fact,
22 there were two studies, one in the blue, the
23 smaller bars to the left of each of the kind of
24 yellow gold bars. That's an old study. And then
25 they updated it and said, you know what, we're

1 going to need a whole lot more regulation. And
2 this is just part way to RPS goals.

3 So, gosh, this is a very tedious slide,
4 all kinds of things. Where should you put this
5 stuff? It's probably a good idea to put it near
6 wind, because then you could reduce some of the
7 local variability. And you wouldn't have to send
8 power over the transmission lines.

9 Probably makes a lot of sense to put
10 most of the resources instate. That way it helps
11 keep the grid from becoming unzipped, you know,
12 during local constraints.

13 If you put a good part of it out of
14 state, and actually that's the case today, the
15 grid is much more susceptible to that kind of
16 disruption.

17 So a little bit about the costs. I saw
18 some costs that Dan had up earlier. They're
19 actually too high for this technology. All of our
20 stuff is pretty public because we've gotten a lot
21 of help from the Commission and DOE and others.

22 So today our costs are on the order of
23 \$2500 to \$3000 per kilowatt capital costs. And
24 that's just not the stuff, the gear, it's the
25 transformers to hook it into 110 or 115 line; it's

1 the land; it's everything, you know, on that.

2 In terms of revenues, it'll make \$8- to
3 \$10 million a year in regulation. Low variable
4 costs, 20 to 25 percent.

5 Again, there's the reference to the
6 effectiveness and the CO2 reduction.

7 So, challenges. We've heard a number of
8 people talk about figuring out how do you monetize
9 these different effects, these different benefits.

10 First, with respect to fast regulation,
11 you don't need to monetize two or three. You can
12 make it all on the back of one. However, there
13 are these other macro benefits.

14 And I agree that what we should really
15 do is just put some social policy into place that
16 recognizes the complexity of figuring out what the
17 costs and benefits are, and just deploy some of
18 this. It just makes sense to do that.

19 Specific incentive ideas. First at the
20 state level, it would be great if the Commission
21 could help us, at least for awhile, not have to
22 pay sales tax on components that are used to build
23 up these projects.

24 Again, there's a state income tax, so
25 why not have a state depreciation schedule that's

1 five-year makers. And why not go all the way and
2 have a 20 percent investment tax credit? That
3 would be a good thing. It's certainly been done
4 before.

5 At the federal level, let's get parity
6 with wind and solar. You know, it just makes
7 sense. So here are the details on that.

8 Wind, right now, can convert its
9 production tax credit into a check at its option
10 just by applying to the Treasury. So that's a
11 kind of a nice gimmick. We'd like to have the
12 same thing.

13 And again, five-year makers
14 depreciation. It's only fair that we get the same
15 thing.

16 Some type of national facility for
17 financing would be awfully good. Allowing
18 utilities to ratebase it, as Harold said. He took
19 us through some, a labyrinth of roadblocks there.
20 Makes a great deal of sense.

21 And then making sure that the actual IRS
22 tax code provides clear and unambiguous beneficial
23 tax treatment. Storage should be identified in
24 the tax code, not just for vehicle-to-grid, but
25 for what it is that we're all doing.

1 This is very very important. You know,
2 everybody likes to work on the problems that are
3 kind of fun and sexy. Tax code is not fun and
4 sexy. But, by gosh, it's awfully important when
5 you're getting ready to build this stuff, as we
6 are; it makes a real difference in terms of the
7 economics.

8 In terms of additional research. I
9 guess the first dash point here reinforces my
10 attention to that one. Some study of the tax
11 code. And specific legislative and regulatory
12 language changes. Not blarney. Not, you know,
13 cumbaya, everybody get together, yeah, we need to
14 do this.

15 The way it's done is you come up with
16 specific language that then drops into
17 legislation. It's expensive to do, frankly. So,
18 it would be helpful if we could get some help on
19 that.

20 A summary of the existing studies. I've
21 showed you some results that talk about 40 percent
22 reduction of regulation, that talk about the 2X
23 effect, the 17X effect. Let's do a summary of
24 these things so that everybody believes. And if
25 we need to, a new definitive study. That needs to

1 convert so that when California ISO does finally
2 complete its work, and it is, I believe it's going
3 to do that, that it provides payments in
4 proportion to the system benefits.

5 You know, if we provide something, and
6 it has a 2X effect, what in the world is the
7 rationale for getting paid 1X? It's much more
8 capital intensive. And that 2X, we're maybe 1.5X,
9 maybe we leave a little bit on the table. That is
10 really a necessary ingredient to the whole thing.

11 And that's it. Thank you so much.

12 MR. GRAVELY: Thank you, Chet.

13 So as you've heard earlier, several of
14 the storage organizations have gotten together and
15 have formed an alliance. Janice has been working
16 with it also. Janice, if you don't mind, since
17 you're pretty familiar with it, you might cover,
18 as we've brought up a couple times, what's in AB-
19 44, and how it's supposed to help storage and what
20 it could do.

21 Because one of the topics we're talking
22 about is how we can help. So, legislations like
23 that, that potentially could be modified or
24 updated to be more helpful, would be useful in
25 having those kind of discussions. Thank you.

1 So, Janice will be talking to us now.

2 MS. LIN: Thank you, Mike. Can
3 everybody hear me?

4 MR. GRAVELY: Just speak close to the
5 mike.

6 MS. LIN: Always have to adjust the
7 podium for a short person in the crew here.

8 I'd like to thank the CEC and Mike
9 specifically for allowing us to make some comments
10 today. My name's Janice Lin and I'm the managing
11 partner of Strategy and Consulting. We're a
12 strategy advisory firm that focuses on clean
13 energy. And we've been doing work in storage,
14 largely VRB, over the last three years.

15 And most recently I cofounded with our
16 attorney, Don Lidell, I think it's one of the
17 first-ever advocacy groups for energy storage in
18 this country. It's called the California Energy
19 Storage Alliance.

20 We chose the name carefully and we
21 focused on California particularly because of all
22 the exciting things that are going on here. But
23 the ultimate vision is to turn this Alliance into
24 a real nonprofit that has legs in a lot of states
25 all over the country, as well as a federal arm.

1 Organized not too differently from SEIA, Solar
2 Energy Industries Association.

3 CESA, as I mentioned earlier, we're this
4 advocacy group. We're representing a number of
5 different energy storage stakeholders. These are
6 the members today, which about everybody here is
7 present except for Extreme Power who is based in
8 Texas.

9 And our goal is to expand the role of
10 energy storage technology, to promote the growth
11 of renewable energy, and create a stable, more
12 secure electric system.

13 We are initially focused on distributed
14 systems, distributed applications. And I'll
15 explain why in a second. And in particular,
16 storage coupled with renewable energy and
17 integrated into the smart grid.

18 And some of our current priorities and
19 activities, as Mike mentioned, we're very heavily
20 focused on legislation. There's a bill, AB-44,
21 which was introduced in December of last year by
22 Assemblymember Blakeslee. It's often referred to
23 as storage omnibus legislation.

24 It does wonderful things.
25 Assemblymember Blakeslee extremely familiar with

1 this area. It provides incentives for utilities
2 to deploy storage technologies at beneficial rate
3 of return, much like how California treats
4 renewable energy here.

5 It provides and encourages tariff design
6 that recognizes the true generation and delivery
7 cost of delivering energy onpeak. And it is
8 exploring, amongst other things, incentives for
9 storage through the California Public Utilities
10 Commission. If anybody wants to talk to me after
11 the fact, I'm happy to do so offline. We could
12 probably spend an hour just on that.

13 Other activities that we're involved
14 with at the PUC include the implementation of
15 existing incentives for storage. There's a \$2 per
16 watt incentive available today through the self-
17 generation incentive program for storage coupled
18 with eligible technologies, namely wind and fuel
19 cells.

20 We are an active party to the DG cost/
21 benefit methodology. And we're advocating that
22 storage be included as part of that. And rather
23 than looking at DG, consider distributed energy
24 resources.

25 And we're also a party to the smart grid

1 OIR.

2 The last thing I wanted to mention about
3 CESA is that we are technology neutral. There's a
4 number of manufacturers represented here, and
5 systems integrator, Chevron Energy Solutions. But
6 we don't endorse or promote any one particular
7 kind of technology.

8 Okay. So why distributed applications?
9 I'm sure you've heard again and again from many
10 speakers today the various benefits of storage.
11 And one thing that I wanted to emphasize here is
12 that distributed applications offer the potential
13 to capture the greatest number of value streams,
14 and are well suited for commercially available
15 technologies today.

16 There's a whole plethora of different
17 technologies. And many of the new entrants are
18 entering in a small scale. I say small scale, sub
19 5 megawatts. Some of them are actually quite
20 large.

21 And the other advantage of distributed
22 applications that can be sited close to the load
23 or even behind the meter is for their deployment
24 you can leverage the customers' investment. So
25 it's not just purely a rate-based solution, you're

1 leveraging the investment of a particular customer
2 who values some of these other value streams here
3 on the customer side emergency backup, the ability
4 to have greater reliability and so forth.

5 The other benefit of storage that I just
6 wanted to emphasize here is that storage really
7 does accelerate a whole bunch of benefits for
8 society at large. It will definitely help
9 accelerate the deployment of renewables. It can
10 do so with fewer emissions. Create a healthier
11 climate, create tons of jobs because we all know
12 these things needed to be sited right here in
13 California.

14 And energy storage, one of the reasons
15 you see storage in all of the smart grid visions,
16 as part of different state and national energy
17 policy, is that it's a really key component to
18 improving grid reliability and security.

19 One of their -- couple other points
20 about distributed storage is that the smaller
21 systems open up the potential for many different
22 business models and ownership models. That's
23 something else that was covered in AB-44. It's an
24 explicit acknowledgement that this technology can
25 be deployed as part of a utility system, owned by

1 customers or third parties.

2 And was mentioned earlier, storage has
3 the ability, when combined with renewables, to
4 create dispatchable renewables.

5 Okay. So, if there's one thing that I
6 hope everybody might take home from -- take away
7 from our comments today is that small distributed
8 systems can have a grid scale impact.

9 You know, utility scale doesn't
10 necessarily mean big. And we've tried to show
11 that here. This is a diagram that just shows
12 conceptually storage can be sited at a substation,
13 or it can be sited at the residential level,
14 commercial and industrial.

15 In either of these scenarios the storage
16 could be utility owned, it could be customer
17 owned, or it could be third-party owned.

18 For example, I think some of the
19 concepts that were presented by Charles and others
20 was that, hey, there could be a third-party-owned
21 system that sells services sited on utility land,
22 and the services are sold back to the utility. So
23 there's lots of degrees of freedom and lots of
24 room for innovation.

25 The other point of this slide, and I'll

1 credit Dan Rastler back there at EPRI, this is a
2 chart that EPRI put together a couple of years
3 ago. This is what we call a day in the life of
4 Cal-ISO.

5 A summer day. This black dotted line is
6 the peak demand of the entire system. This blue
7 line is what would result after the full
8 implementation of the California Solar Initiative.
9 So 3000 megawatts.

10 One thing you may notice here is that
11 about 5:00 in the evening there's still quite a
12 hefty peak. So what Dan's group did, they said,
13 hmm, let's do a what-if. What would the load
14 shape look like if we installed five kilowatt
15 hours of storage for each kW of installed solar.

16 What it would do, it would raise your
17 demand at night, so you'd have a higher, better
18 load factor at night. And would completely clip
19 the peak. And, you know, you could almost imagine
20 lots of little batteries being installed with
21 solar all over the state. And that would be the
22 impact. So, once again, small distributed systems
23 can have a grid scale impact.

24 One of the questions of this workshop
25 was what happens, how can storage accelerate or

1 help out the achievement of the 2020 33 percent
2 RPS target.

3 And these are just some of the quotes.
4 I think that a lot of really smart scientists have
5 done research on what are the consequences of high
6 degree of renewable penetration, and high
7 penetration means anything greater than 20
8 percent. And according to NREL and the Department
9 of Energy and EPRI, the grid will experience some
10 issues once we get into those kinds of penetration
11 levels. I won't read the quotes here; you'll have
12 that in your handout.

13 And so what we're advocating is that
14 there is these issues. There's lots of different
15 ways to integrate these renewables. A portfolio
16 approach. Storage necessarily needs to be one of
17 those solutions.

18 It'll probably be a mix, including load
19 management and other solutions, but storage can
20 and should be part of this.

21 So, final slide today. What's stopping
22 storage today? Our barriers and recommendations.
23 And many of these recommendations are some of the
24 policies that we're advocating through CESA.

25 The punchline is that energy policy that

1 supports energy storage will also, by definition,
2 support California's RPS, will reduce peak load
3 and also support national smart grid policy.

4 So, some of the barriers, cost or
5 economics. There are, as you've heard today, this
6 is just a small cross-section of some of the
7 storage technologies that are deployed today.

8 Many systems have not achieved scale
9 economies. NGK has made huge progress, but we
10 only have nine megawatts installed in this
11 country. Many more megawatts elsewhere. And I
12 think California has been famous for adopting and
13 commercializing and putting on the map a number of
14 new technologies among renewables. I think it
15 should be no different for storage.

16 In terms of the technologies there are
17 many solutions, and we believe there's a role for
18 just about all of these technologies in different
19 applications.

20 Storage is one of those interesting
21 technologies that has the potential to serve
22 multiple different functions. You know,
23 potentially you could have a battery that also
24 provides emergency backup power and shaves peak,
25 or participates in a dispatchable DR program.

1 And any time there's a technology that's
2 tapping into different programs and different
3 markets that haven't necessarily been so connected
4 historically, that's really hard. It's super
5 difficult to implement.

6 And then finally, on the regulatory and
7 policy front, you've heard it again and again, a
8 broken record, but it's really hard to aggregate
9 the complete, all the value streams provided by
10 storage.

11 I think there's an incorrect perception
12 that storage is just a utility solution. It is a
13 utility solution, but it can also be a solution
14 that enters the market through other ownership
15 models.

16 We have tariffs that don't reflect the
17 true cost of producing and delivering power
18 onpeak.

19 And then finally, storage, as I
20 mentioned earlier, is one of those interesting
21 technologies that has a role in a lot of different
22 areas. In energy efficiency, demand response,
23 renewables, smart grid. And I think now, with
24 workshops like this, and some of the discussion at
25 the PUC on the smart grid proceeding, that's all

1 starting to come together, which is very exciting.

2 So, to address these barriers, some of
3 our recommendations are, first of all, incentives.
4 Incentives are a great way, in the near-term, and
5 very quickly realigning those benefit streams in
6 such a way so that it encourages adoption. So the
7 entity that buys the equipment gets to enjoy some
8 of the benefits that accrue to various other
9 stakeholders in the system.

10 And on that note we're advocating that
11 the self-generation incentive program be fully
12 implemented. Right now it's limited to wind and
13 solar. Wouldn't it be great if the self-
14 generation incentive program could incentivize
15 stand-alone applications of storage, as well as
16 storage coupled with solar.

17 Secondly, AB-44 recommended for an
18 increased rate of return for utility-owned
19 storage. That would be a great way to encourage
20 adoption from the utility set.

21 Next big group are, in general, policies
22 that encourage the integration of storage with all
23 the other energy policy priorities in the state
24 under different ownership and business models. So
25 all the things that we mentioned earlier.

1 And some of the ideas that are being
2 tossed around, so we talked about tariff design.
3 As storage becomes more and more prevalent with
4 renewables we will need clarification on how net
5 metering is to be treated. Or systems that are
6 integrated with storage.

7 Any time there's distributed renewables,
8 as will be incentivized through the feed-in
9 tariff, there's a role for storage. And for
10 storage to increase the value of those renewables.
11 So increasing a cap on the feed-in tariff, and the
12 potential for, again, hitting that 33 percent.

13 I think that it's pretty widely known
14 that peak electricity, the generation and delivery
15 of it consumes most of the cost of our electric
16 system. So any incentives such as a multiplier, a
17 three-to-one RPS multiplier for example, for
18 renewable energy that's delivered onpeak, there's
19 precedent for doing that for distributed
20 renewables in other locations.

21 And finally, the name of the game is
22 peak reduction. Wouldn't it be interesting to
23 have a peak reduction standard say for state
24 agency procurement.

25 Finally, this has been touched before,

1 but particularly through the support of PIER,
2 there's a wonderful opportunity here for
3 California to support PIER and California to
4 support proposals for projects that are going for
5 funding under the stimulus program here in
6 California, to accelerate and increase the number
7 of integrated demonstration projects that are out
8 in the ground.

9 These are the first demonstrations for
10 customers once you have the beach-head, then you
11 have something to point to. And then you get
12 volume. And as Rob said, with volume comes
13 greater cost reduction and greater market
14 penetration.

15 And then finally, wouldn't it be cool if
16 California had an energy storage center of
17 excellence. We have centers of excellence for
18 energy efficiency, for lighting, for demand
19 response. I think it would be pretty neat if
20 California had that center for storage, because it
21 is so central to many of our policies.

22 Thank you very much, and I'll take
23 questions.

24 MR. GRAVELY: I will take a few seconds
25 now for the room here. And I would request you

1 just come to the mike up here, or up to here and
2 talk.

3 If anybody has any questions for any of
4 the panel members before we start, come forward
5 and ask your question. And I have some questions
6 for them to address, but I want to give a chance
7 to the attendees to do it.

8 I think that mic works, but I'm not
9 sure.

10 MR. JOHNSON: Just a question. This is
11 Walt Johnson, Cal-ISO. It's a question related to
12 the locational value question that you spoke to a
13 little bit.

14 It would seem to me that depending
15 fairly strongly on the service that you envision
16 the storage providing whether or not, first, if
17 you're firming wind, as was shown in the VRB
18 installation, you put it right there at the
19 windfarm; trying to act as some kind of a load-
20 shifting resource, you put it, as was pointed out
21 here, near the load.

22 Does this mean we have to have it on
23 wheels? Or is there a compromise or, you know,
24 just wondering how we might resolve that, or -- in
25 terms of, different value depending on the actual

1 function the storage is providing.

2 MR. LYONS: How about if I start and
3 then I'll turn it over. Walt, you're absolutely
4 right. That depends on the application whether or
5 not there's a locational benefit.

6 For frequency regulation the practice is
7 that there is no location benefit. If you're
8 anywhere in the so-called balancing area and you
9 inject or absorb energy, it impacts the frequency
10 of the grid.

11 On a physics level there probably is a
12 minor effect in that if you are close to certain
13 perturbations you can kind of eliminate those at
14 the source, and in effect, it's maybe in theory a
15 little bit more efficient. But for the most part,
16 it's location independent.

17 MR. GOTSCHALL: I'll offer a few
18 comments from a distributed energy storage model
19 that is nominally six hours. You're very correct
20 from the stabilization of wind point of view.

21 In Japan JWD and NGK have a hybrid
22 product for that purpose. And in that case the
23 battery is located proximate to the wind.

24 In Japan the requirements that the
25 utility impose on the generator is to stabilize

1 wind before it is put on the grid. And that's
2 because it is a long island nation. There's much
3 less integration of other resources for
4 stabilization.

5 Very different in this country. The so-
6 called stabilization would be market procurement
7 services, regulation control, load following, et
8 cetera.

9 For the most part it doesn't matter
10 where. The storage asset is on the grid. For
11 that reason we recommend to NGK for the U.S.
12 market that the location should be targeted
13 proximate to the critical load or substation.
14 That lets us capture the benefit of time shift,
15 capture the benefit of T&D, if you will, load
16 shaving, peak shaving.

17 In other words, you're saving investment
18 on the grid system as well as the benefit of
19 renewables time shifting.

20 MR. TOCA: I would just add, in terms of
21 the location, that here again it goes to the
22 application. The VRB system was established at a
23 windfarm in Japan. It seems to make just total
24 sense to do that. Because now instead of having
25 this choppy wind going out in the system, you've

1 got a very very smooth wind going out. It seems
2 to make a lot of sense.

3 However, depending upon the application
4 if you used it at a load center, as we're talking
5 about just a second ago, if that's where the value
6 is, you can place it there, as well.

7 One of the neat advantages of the energy
8 storage technologies you see in front of you now
9 is they can be placed either in very very large
10 bulk systems or smaller distributed systems.

11 So, to me, it's a question of what it is
12 you're trying to accomplish and where the value
13 is. As a vendor, I will go wherever you want to
14 determine the value is.

15 I've talked to engineers, of course, who
16 believe in doing things logically and rationally,
17 and they say you should put it here where the wind
18 is. You should put it here where the load is.

19 The regulatory folks sometimes think a
20 little differently. The political folks think
21 differently, too. So, I think location makes a
22 lot of sense. And we just have to see how it all
23 plays out.

24 MR. PARRY: I'd actually concur with
25 those comments. Really, from the system

1 developer's point of view, we're guided by the end
2 use of the customer. And if he wants it at his
3 windfarm, that's where it's going to go.

4 MR. GOTSCHALL: I would add one other
5 comment to your point on should we put it on
6 wheels. And the answer would be ideally, yes.
7 For the model I described, where we're trying to
8 capture both the time shifting of generation, as
9 well as the T&D reliability, we all know the grid
10 is a dynamic machine. The points of critical
11 reliability move with the changes of customers'
12 load generation on the grid.

13 So it would be a very desirable quality
14 for that storage system to be relocatable at
15 three- to five-year increments or something like
16 that.

17 MR. GRAVELY: Any other questions from
18 the audience?

19 I just have a couple quick questions
20 here. I'll bring up one of them here for the
21 panel, in general. And that is there's been lots
22 of discussion on carbon markets and carbon credits
23 and carbon penalties.

24 Does the panel feel that if the carbon
25 market matures that it will have a substantial

1 impact on lowering the barrier for storage? Or
2 will it impact the storage market at all?
3 Anybody?

4 MR. LYONS: Maybe I could start. To the
5 degree that it increases the cost of our more
6 fossil fuel intensive competitors it'll increase
7 our profit margin.

8 But it's a small effect. We've looked
9 at it. It might help out by, say, a 5 percent
10 factor.

11 You know, it's not going to really break
12 down any doors --

13 MR. GRAVELY: It's not going to be game-
14 changing like it is in other areas?

15 MR. LYONS: I don't think so.

16 MR. GRAVELY: Anybody else? Charles.

17 MR. TOCA: Yeah, I would just add one
18 thing. I think Beacon and KEMA did some great
19 research on how frequency regulation by fast
20 responding storage can really reduce emissions.

21 I'd also point out some other points
22 that were made, that Rob made with regard to
23 spilling wind. It just seems to make sense,
24 again, to integrate storage with renewable energy.

25 If you've got a solar field that's got

1 this crazy spiking going on, and you've got energy
2 storage along with that, you now have a capacity,
3 integrated storage at the solar field, integrated
4 storage in wind, you've got a generating system
5 that's just as good as a fossil fuel plant.

6 So instead of building all these
7 turbines out there to backup or to replace -- I
8 can't use the right word here -- to provide the
9 capacity, you can provide that capacity with
10 storage and a renewable energy system. And you
11 don't have to then fire up these things to go.

12 So I think there's a multitude of areas
13 where storage can really help reduce carbon.

14 MR. GOTSCHALL: I'd like to second
15 Charles' comment, and again commend Beacon for
16 their work on regulation control, which was a
17 clear offset of fossil generation with storage.

18 Further to that, though, and more
19 conceptually, any time storage can displace part-
20 load operation on gas turbines, it will have an
21 impact. It's roughly equivalent to the hybrid
22 vehicle. Your engine turns off when you come to
23 the stop sign.

24 And without any analysis, don't know how
25 significant that might be, or what the storage

1 might be worth.

2 MR. GRAVELY: Okay. One question I have
3 for the panel here, as we get ready to shift to
4 the public comments, would be we've discussed many
5 different options. And there was a little variety
6 by technology, what helps the most.

7 But if we could take away from this
8 workshop three areas in your mind where you think
9 we should summarize what the Commission could do,
10 what the state could do, the policies that might
11 make a difference, what would be your top three
12 ways for this workshop to be most effective in
13 bringing more storage to support the RPS?

14 So, from a perspective of policy or
15 direction, -- we have a diverse group -- what
16 would be the priority in your mind that would make
17 the most difference.

18 Any one of you.

19 MR. LYONS: I'll start on that. First
20 thing I would say, tariffs. It does no good
21 unless the tariff allows you into the market.

22 And a process has been started. Again,
23 California-ISO has been terrific on the front end.
24 They've gotten a little bit lost in the middle.
25 If you could help them kind of find their way

1 through the woods. That's number one.

2 Number two is taxes. The tax incentives
3 that solar and wind are getting, very very
4 materially help the capital cost component. It's
5 huge. And it's also a real pain to kind of try to
6 figure it out. It does not happen automatically
7 in any way, and there's no reason why we shouldn't
8 have parity with that.

9 And I would say number three is going to
10 be some form of project financing. Again, these
11 things have almost no variable cost because they
12 don't burn fuel. That's a terrific thing. That's
13 where the carbon savings comes from, a tremendous
14 goodness.

15 But they're very costly on the front
16 end. So any kind of a facility that we could put
17 in to frankly replace the missing private market,
18 because make no mistake if you fixed everything
19 else, but we don't fix the access to capital, we
20 are on hold.

21 So those three things.

22 MR. GRAVELY: Thank you very much. Rob.

23 MR. PARRY: Mike, I've got three bullet
24 points and two of them are probably close to being
25 the same thing, being regulation and legislation.

1 Although regulation from the utility or the users'
2 perspective, Legislation for the benefits that it
3 can create in helping us put these technologies
4 into the marketplace.

5 Education. I'm a firm believer that
6 it's not this generation, it's the next generation
7 and the generation after that that are going to
8 make the biggest significant changes to our energy
9 policies, to the way that we actually handle
10 energy; create it, transmit it, distribute it and
11 use it.

12 So we've really got to educate those
13 people that are coming through behind us, and the
14 generation that will follow them, and the one
15 after that. But it's got to start somewhere. So
16 it starts now, I think.

17 MR. GRAVELY: Good. Janice?

18 MS. LIN: My vote would be for more
19 support for demonstration projects, near term.
20 Having actual projects in the ground that you can
21 go visit will do a lot to demonstrate that the
22 technology works, that the value is achieved. You
23 can view it, touch it.

24 Concurrently, the demonstration projects
25 alone aren't enough. And incentive programs such

1 as the self-generation incentive program, where
2 it's sort of a first-come/first-served
3 commercialization program; that was the original
4 genesis of the solar market here in California.
5 And that would be a great vehicle for storage.
6 Build up the volume.

7 I think some of the credit market issues
8 and the tax policy, we'll need to take care of
9 that, too. I would agree with Chet. Some of the
10 stimulus money going towards the commercialization
11 and new technologies can help bridge some of that
12 gap.

13 But you're still going to need to be
14 able to point to a project that capture different
15 value streams and PIER can go a long way to
16 helping to insure those projects get in the
17 ground.

18 And then, in terms of the policies, we
19 listed several that we would recommend, but
20 policies in particular that are appealing not only
21 for the storage industry, but also utilities and
22 all the other stakeholders, large energy users
23 that we can build a coalition and really make them
24 happen quickly.

25 MR. GRAVELY: Okay.

1 MR. GOTSCHALL: I'd take on the
2 ownership issue first. The interim rules,
3 perhaps. Perhaps flexibility that would enable
4 the owner --

5 MR. GRAVELY: Would you speak to the
6 mic, because this is being recorded. I don't
7 think we can capture your notes in the transcript.

8 MR. GOTSCHALL: Certainly. As I said, I
9 would take on the ownership issue first. There's
10 the underlying principle that the owner, whoever
11 it is, distribution, utility, IPP, or transmission
12 utility should be able to accrue the benefits,
13 combined benefits of the asset.

14 This might be an interim thing, but I
15 think from a practical point of view of evolving
16 regulations appropriate for the technology, you
17 need to know that the tool does what you expect it
18 to do. And then you build the roots.

19 The other important aspect of such a
20 model is that it should be deployed in 50 to 100
21 megawatts. These one-of transitions where each
22 one of them has to take on a set of regulatory
23 barriers and find its way through it can't be
24 done. It has to be done at a scale that can be
25 incorporated into planning. And evolve in a way

1 that that gets transferred into the education of
2 the forward planning people. The next smart grid,
3 or the next distribution system. So you're not
4 re-inventing it on each transaction.

5 MR. TOCA: Charles Toca here. I would
6 just echo everything that the panel's been saying
7 in terms of the tariffs and the studies and these
8 sorts of issues needing resolved.

9 I will say, add one more flavor to this,
10 though. One advantage of storage is, because of
11 all these buckets and benefits we have, is that,
12 you know, creative clever people can find ways to
13 fit into the buckets that exist right now.

14 I'll give an example of that with the
15 Cal-ISO. We went to Cal-ISO and said, you know,
16 look, our technology can act like a generator. If
17 we can do all the things a generator can do, can
18 we play in your game.

19 And we talked about demand response.
20 And Cal-ISO said, well, yeah, if you can act like
21 a generator then there's no reason why you can't
22 play in the new market we're developing for demand
23 response.

24 I think Al23 and lithium ion batteries,
25 too, are looking at partnering with generators and

1 providing services, you know, from the generator
2 side of things.

3 So I think there's areas where we could
4 begin to expand and to deploy now. The number one
5 problem that I see today is being able to monetize
6 these benefits. If we can get a guaranteed or
7 dependable stream of income for the services we
8 provide, I think you would see deployment of
9 these, as Chet was saying, you know, much faster.

10 Then as we're deploying those I would
11 say yes, let's keep working on the tariffs, make
12 sure there's no barriers there, make sure the
13 regulatory issues are taken care of, also.

14 But, you know, for goodness sakes, you
15 know, why can't we go ahead today and enter into
16 contracts for the services of a storage system,
17 services that we can provide today in different
18 kinds of boxes. And just say, you know, let's do
19 that.

20 MR. GRAVELY: Go ahead, Janice.

21 MS. LIN: I just had one more thought
22 that relates to this. In particular, and there's
23 a lot of talk about cost/benefit. And when it
24 comes to storage I think it would be helpful to
25 have guidance from the CEC that insures that the

1 cost/benefit methodology that's used to evaluate
2 storage looks at the full cost of peakers and, you
3 know, the related T&D cost, so we're not only --
4 we're drawing the box sufficiently large. And
5 that cost/benefit analysis is the foundation for
6 further policy development.

7 MR. GRAVELY: Okay. One final question
8 before we go to the other public discussion here
9 then, and that would be in AB-44 there is a
10 requirement for the CEC, the PUC -- or the PUC,
11 with our help, to come up with a cost/benefit
12 methodology. All of you have done business plans;
13 all of you have done cost/benefit methodology.

14 I'm curious if you think that given
15 where we are today that is a step that we can come
16 up with? A good methodology? Or is it one that's
17 going to require some pretty serious discussion to
18 come up with a methodology that's, as Janice says,
19 captures everything and represents everything.

20 We've mentioned already how difficult it
21 is. It will be interesting from those of you that
22 have spent time doing business cases for customers
23 to say how close are we to coming to a cost/
24 benefit methodology that will help storage move
25 forward.

1 Anybody.

2 MR. LYONS: I'll start, if I can. You
3 know, when you start to talk about wide system
4 impacts like reducing the amount of regulation
5 capacity across the entire balancing areas by 40
6 percent, those are big models.

7 I know Pacific Northwest National Labs
8 has something called grid lab D that they just
9 completed, in an effort to be able to quickly
10 model what's going on at a macro-grid level.

11 So, you know, are talking about the
12 sophisticated end of cost/benefit analysis, no
13 question. But that doesn't mean that we shouldn't
14 engage, and it doesn't mean that we shouldn't come
15 up with the best answers and take action on those,
16 even though they are not as precise as they're
17 going to be two years from now.

18 I think we know enough today, based upon
19 the studies that have been done, to say, yeah, you
20 know, the amount of goodness is terrific; let's
21 deploy a certain amount.

22 And then we can empirically begin to
23 calibrate on what all this stuff is. You know,
24 this is one of these problems where if you have to
25 define the location of every electron in the

1 molecule, you're going to be here for a long time,
2 you know, and we shouldn't do that. Okay.

3 In particular now when the country is
4 facing all these challenges, we need to move
5 forward on a lot of fronts expeditiously. And
6 there's no reason why we shouldn't be doing our
7 part, you know, to kind of stay locked up in
8 bureaucracy and inaction, you know, year over year
9 over year.

10 You know, it's not good. It's not
11 patriotic.

12 (Laughter.)

13 MS. LIN: I don't know if you've seen
14 the cost/benefit -- the proposed decision on the
15 DG cost/benefit methodology. That's an impressive
16 document. I mean there's a lot of really smart
17 people that spent a lot of time thinking there's
18 four different tests that go through, you know,
19 vectors -- I mean literally everything.

20 And so in terms of advanced thinking and
21 raw horsepower to do that, I think we have those
22 abilities here in California, and then some. It's
23 just a matter of framing the discussion
24 appropriately for storage.

25 MR. GOTSCHALL: I may be on the other

1 end of this debate, more of an empiricist than a
2 modeling proponent.

3 I would observe, though, we have worked
4 with two major utilities. Each of those
5 utilities, given the opportunity to spend some
6 time modeling the benefit of storage on their
7 grids, assuming that they could accrue the
8 benefits, and a business case.

9 My point is it's there.

10 MR. GRAVELY: Okay. Very good. Okay,
11 we have a few other speakers in the same area that
12 have turned in cards and asked to speak. So I'll
13 start off with Lon House if he's here. And he
14 will give us a presentation on storage from using
15 water for storage.

16 And then we have two other speakers that
17 have already given us information. If you want to
18 join us feel free to bring a blue card up here.
19 And when we're done with these we'll have some
20 open discussion.

21 MR. HOUSE: Well, good afternoon. I'm
22 going to talk about something that we haven't
23 talked about thus far, but I'm going to talk about
24 water storage. And it's a little bit different
25 than what you talked about, what you're thinking

1 about.

2 Let me talk about the big projects that
3 you're familiar with, the big pump storage
4 facilities. And I'm not going to talk about some
5 of the other big ones that are being planned, like
6 the Lake Elsinore or the Livenhaven (phonetic)
7 project.

8 What I'm going to talk about today is
9 the smaller projects which, as you'll see, there's
10 a tremendous amount of them. And generally
11 they're under 10 megawatts.

12 All water agencies have some sort of
13 storage in their system. And the storage is added
14 to integrate with their system. It's not for
15 electrical demand or demand reduction. And it is
16 what -- you see them everywhere. They're these
17 beige tanks that are sitting on the top of the
18 hills in every city and every town throughout
19 California.

20 They were built to optimize the
21 operation of the water system. They are used to
22 meet water demand, and smooth out water treatment.
23 But they can be used to store energy. Anytime you
24 have water and elevation, it's stored energy.

25 And there are several examples of these.

1 You can have them with hydroelectric generation.
2 This is fairly rare. Calleguas has one that has
3 pumps and generators, but those are vintages left
4 over from the old QF contracts.

5 What's more common is water storage with
6 just pumps, like treatment. I have an example of
7 Eldorado. And then anytime they have groundwater
8 storage, too. Remember, you're putting water in
9 and then you're pumping it back out.

10 What I want to do is I want to go
11 through, this is an example, this is Eldorado
12 Hills, for you that are familiar with California,
13 this is their fresh water system. It's not their
14 wastewater system; it's not any other part. It's
15 just one small isolated part.

16 And this was the heat storm we had
17 several years ago. And I wanted to show you the
18 operation. This starts on Saturday. But you can
19 see this is the water treatment plant and this is
20 the well water pumping out of Lake Folsom.

21 So, the first week what we did is we bid
22 it as typical demand response, right. Shut
23 everything off at noon and turn everything back on
24 at 6:00 in the evening. And you can see, this is
25 six hours grid, it's 2.5 megawatts, what happened

1 every day during that week.

2 The next week has actually turned out to
3 be a little more -- and you can see it's starting
4 to deteriorate at the very end. But the next week
5 actually turns out to be a lot more interesting
6 because then what the ISO was concerned with is
7 they were getting these drops and they were having
8 additional problems.

9 So, look at what's happening here. So
10 you can see that what we're doing is we're running
11 not on these big blocks, but we're going in and
12 out of water treatment and our pumping facilities.
13 Okay.

14 Now, remember, these are only pumps;
15 these are only energy users. If they were
16 reversible pump turbines, what you would have down
17 here in this area, is you would have generation
18 coming out. But that's not the way of that.

19 So, what this is, this is one isolated
20 system in one town in California and it's 2.5
21 megawatts. And you can see what's happening with
22 the way this system is being operated.

23 Right now the water agencies in
24 California dropped about 400 megawatts on peak.
25 Exiting facility reoperation such as what I was

1 talking about in Eldorado, there's about 250
2 megawatts.

3 And the reason that this is so low is
4 because there has not been the stability in demand
5 response programs because we got to figure out,
6 the water system, remember, these are integral to
7 the water system, and if you want to use them in
8 some other way rather than just using them to meet
9 your water supply, you have to do a lot of
10 figuring out how to, going in and coming out of
11 your treatment facilities and your water supplies.

12 So that's why this number's about 250
13 megawatts. But this estimate's about -- there's
14 another 500 to 750 megawatts of either adding new
15 storage for energy production, which we have not
16 added because it never would pay for itself; or
17 taking what we're doing now, which is running --
18 we're taking pumps, pumping water up to a storage
19 facility, and then having a pressure-reducing
20 valve coming down as a generator.

21 If you change those and allow reversible
22 pump turbines, you would get about 750 more
23 megawatts.

24 I just put this up. This is the largest
25 facility in California. This is 40 million gallon

1 storage facility down in -- by Encinas. The
2 advantage of this, this is a technology we all
3 know about. We're very familiar with it; we've
4 used it; we're working with it.

5 It's much less expensive than the other
6 storage technologies that you're talking about.
7 Particularly if you can take some of the cost of
8 converting this from just a simple water storage
9 facility to an energy responding facility, and
10 allocate some of that money or some of the cost of
11 that for the water system. Because it actually is
12 helping out the water system.

13 These are located close to the load
14 centers. All the water systems in California have
15 storage. And these are right in the load centers.
16 And it also will improve the water and the energy
17 infrastructure.

18 The disadvantages is it's small. These
19 are generally two, to the largest potential that
20 I've seen, is a ten megawatt system.

21 For the existing systems, they are
22 integral to the water system operations, so for
23 most of the existing systems the energy guys can't
24 have free rein on them, because they're receiving
25 water from the water treatment facility, and

1 they're sending water back out into the system.

2 And so the existing systems need changes in
3 their operating protocols.

4 And the current economics are
5 discouraging because, particularly because of the
6 changes in demand response programs that have not
7 made it worthwhile to change the operation of the
8 system.

9 And the reason that reversible pump
10 turbines are not put in is because they never pay
11 for themselves. The generation never pays for
12 itself because you're only using it for a few
13 hours a day.

14 Okay, so there's some additional
15 information. One of the things that I would like
16 to see, one of the things I'd recommend the Energy
17 Commission do, is look at what would happen, what
18 changes are necessary in the operation of a water
19 system if that storage facility is dedicated to
20 ISO or some sort of energy control.

21 How quickly can the water storage
22 respond? We've talked today about from full
23 discharge to full load in a second. It's not
24 going to happen with a water system. You've got a
25 huge amount of inertia. You've got a huge amount

1 of water that's going one direction. And stopping
2 it, and sending it back the other direction has
3 implications for the entire part of your system.

4 The economics of how to change your
5 operational protocols. The water systems will
6 need to know that if they're going to participate
7 in something like this.

8 The economics of operation for energy
9 rather than for water use. These were built for
10 water. They're not built for energy.

11 And the economics of new construction.
12 One thing that has not been done is none of these
13 systems have been put in for energy production,
14 alone. Because there's no -- just like everybody
15 else was talking today, there's no opportunity to
16 recover that money.

17 Okay, the conclusions. All these
18 storage technologies are nice, but this is a
19 simple, readily available energy storage
20 technology that no money from the Energy
21 Commission or from PIER funding has been dedicated
22 to, to determine how, what the potential is and
23 what needs to be done in order to get this
24 operational.

25 We could 1000 megawatts. Generally

1 these could be added within a year. Almost all
2 water systems have the existing land held in
3 reserve for future storage facilities. They
4 haven't built them because they're not warranted
5 based upon the current operations of their system.

6 It's a proven technology. The locations
7 are readily available. Locations are located next
8 to the load centers. But there are some
9 additional information that the water systems will
10 need. You need to know what changes are necessary
11 in the operation of your system to maintain the
12 integrity of your system if you have part of it.
13 Or an adjunct to it that's producing energy, it's
14 used primarily for energy.

15 The economics of replacing pumps with
16 reversible pump turbines. And the economics of a
17 new construction for just completely for energy
18 use.

19 Thank you.

20 MR. GRAVELY: Questions? Any questions
21 at all? Okay, we'll take questions of the speaker
22 while the speaker's at the podium.

23 MR. GRAY: Bill Gray from Velkess. When
24 you say reversible pump turbines, are you
25 referring to -- is the costs that you're referring

1 to there associated with the pump, the mechanical
2 pump? Or with the electric motor generator pump?

3 MR. HOUSE: It's with the electric motor
4 generator. These systems currently have pumps
5 available to them, because that's what we're using
6 to pump up the hill to get the water into the
7 storage.

8 What is lacking is the generating side
9 on the other side. And as I said, with the once
10 exception of Calleguas that I'm aware of, those
11 dual-function motors would never pay for
12 themselves because if you're only operating them
13 three, five, six hours a day, you never can get
14 enough energy out of that small hydro facility to
15 warrant the capital investment.

16 MR. GRAVELY: Thank you, Lon. Our next
17 speaker is Charles Vartanian from A123. And I
18 believe he can share a little bit with us some of
19 their challenges of providing ancillary services
20 to the ISO, as a storage device.

21 MR. VARTANIAN: Thank you, Mike; and
22 appreciate the chance to be added to today's
23 dialogue. Came to last minute. Much appreciated.

24 A couple comments. I'm here to
25 represent a proven technology, and I want to riff

1 off of my colleagues here who have established a
2 beach-head. Our flagship client is, basically
3 they throw themselves on the barbed wire. They've
4 leapt and are holding the first inland city.

5 We are connected, two megawatts today,
6 our equipment is connected. Two megawatts today
7 is able to go under ISO AGC control. There is no
8 technical hurdle. It's a resource hurdle, it's
9 not -- as soon as they dedicate the resources to
10 do simple software changes, in my opinion, our
11 client can get paid. Paid, that's the key thing,
12 paid.

13 So, let me spin through this quick. But
14 then I've got some comments on how the CEC can
15 help.

16 There's storage that's been around for
17 awhile. Tons of megawatts in Berlin. This is
18 what's gone in in California. Once again, able to
19 go under AGC control. My colleagues proved that
20 they can go under ACE control. We can, as well.

21 When you're ready to pay for performance
22 we'll go under ACE control, as soon as you're
23 ready to pay.

24 We've got a real opportunity. The
25 renewables issue, and this actually ties back to

1 meeting the RPS, believe it or not. Today
2 frequency regulation is really built around
3 meeting a variable load.

4 That's utilities and the operators don't
5 control the load. The load controls the load.
6 Consumers do.

7 Now you got another variable out there,
8 the supply side, the variable intermittence. It's
9 really an opportunity for storage to shine.

10 So our flagship has had us develop this
11 solution. And we worked with them to integrate it
12 to the ISO grid for frequency regulation. Sixteen
13 megawatts has been built to deploy to Chile to do
14 frequency regulation and spinning reserves.

15 Here's another issue. I don't need new
16 markets, I don't need new services. Now markets,
17 now services.

18 Here's where we're getting to what the
19 CEC can do. The functionality, what's nice, the
20 Beacons, the specialty, you know, solving the
21 frequency regulation puzzle, that is not a low
22 technical hurdle. Once you get into frequency
23 regulation you could extend that to numerous
24 services. If all we were doing was diurnal shift,
25 which has its place, and once again that's a now

1 market, now service, just pay them now.

2 But frequency regulation takes a much
3 more dynamic control technical capability. That
4 extends to a number of other more dynamic
5 controlling capabilities.

6 And here's a nice, pretty slide. Here's
7 what we do. And there's the efficiencies gained.

8 Ultimate impact. All of these are the
9 value of solving a very simple bureaucratic
10 puzzle.

11 And here's our path -- another message I
12 want to put out. All of our companies are too
13 small and fragile, number one, to be fighting each
14 other. Number two, alone we aren't going to be
15 heard. This is a legacy industry, very large,
16 very vested. And make big investments that they
17 have to recover. We're not here to mess with
18 that. But I think even to be heard we need to
19 join together and maybe the CEC can be a
20 clearinghouse for getting the right information to
21 the right people.

22 Smart grid ready. I call this the smart
23 green vision. We have the functionality, just
24 point us at the right problem. Once again,
25 there's a lot of focus on what can I do. I'd like

1 to turn around that and you tell me what you need
2 in performance metrics. Don't tell me that you
3 need a generator to do ancillary services. That
4 doesn't do either of us any good. Tell me what
5 providing ancillary services mean in terms of a
6 performance spec. Leave it to me to figure out.
7 Leave it to my client to figure out how to get
8 paid.

9 But, meeting these characteristics will
10 facilitate higher renewable penetration success.
11 And the stimulus bill, by pointing to the smart
12 grid programs in the EISA 07, what more do we
13 want.

14 It accelerates getting the solutions in
15 the field. And the center of excellence, great
16 idea. I would just recommend build it around
17 equipment connected to the grid operating.

18 So a call to action. You know, use the
19 stimulus to fund this development. And this is
20 the key, existing advanced technology, that the
21 advances are an application. And that doesn't
22 need any technical breakthrough. You could use
23 SCADA, you know, off-the-shelf command-and-control
24 to do, quote, smart grid applications.

25 I do agree, modeling qualified impacts.

1 I've worked as a planner on the utility side.
2 Unless it's simulated, they aren't going to
3 connect it unless they've seen it proven in a
4 simulation run, in the models and languages they
5 understand. That isn't happening. Once again,
6 it's collaboration.

7 Lower barriers. Two specific California
8 opportunities on the policy side. You know, if
9 you can make a policy statement that compensating
10 bundled values, you know, bundling value for
11 discrete services from a single project or a
12 single source. Even if there was a policy
13 statement that that was desirable. Maybe to give
14 someone the impetus to allow resources to work on
15 that, you know, CPUC Staff level.

16 State as a policy, that California has
17 proven that frequency regulation capacity actually
18 is critical to delivering renewable resources,
19 critical to the grid delivering renewable
20 resources.

21 I believe the stimulus launching just
22 does allow ITC for the manufacture of energy
23 storage if that energy storage is facilitating the
24 grid's ability to deliver renewable energy. If
25 anyone questions that, please, I will cut-and-

1 paste right out of the stimulus language that
2 passage.

3 So it would help us if California
4 established it through studies, frequency
5 regulation capacity facilitates the grid's ability
6 to deliver renewables. And that should qualify
7 me. You saying that would be a lot more
8 impressive than A123, or any of us individually.
9 CESA might have a little bit more weight than any
10 one of us.

11 So those are two items in identifying
12 the value or the need to compensate for bundled
13 services. And in particular, in California, in
14 the market you can do frequency regulation. But
15 you can't sell VARs. Unique to the ISOs.

16 Well, since there's such a bright line,
17 why not allow the VARs to be sold to the TND? So
18 I think that's even a test case that some staff
19 people could dig into. Maybe the CEC can call the
20 PUC, is there rate recovery if someone bought the
21 VAR capacity that's not necessarily a market
22 product? While that same project at the same
23 interfaces doing frequency regulation in an open
24 market. I think that would be a nice staff
25 project.

1 Thank you.

2 MR. GRAVELY: Any questions for Charles?

3 (Pause.)

4 MR. GRAVELY: Okay, Bill Gray.

5 MR. GRAY: Hi. I'm Bill Gray from

6 Velkess Energy Storage. We have --

7 MR. GRAVELY: Just pull the mic closer
8 to you.

9 MR. GRAY: Closer to me.

10 MR. GRAVELY: Yes, it doesn't pick up
11 much.

12 MR. GRAY: Yeah. I'm Bill Gray. Is
13 this good?

14 MR. GRAVELY: Yes.

15 MR. GRAY: I'm Bill Gray from Velkess
16 Energy Storage. And we have a energy storage
17 technology solution.

18 And I have a question for the CEC. It
19 seems as though particularly in this morning's
20 panel, there was a very real recognition that the
21 cost of energy storage is a real impediment to
22 larger scale rollouts.

23 And then this afternoon a lot of people
24 talked about how getting the benefits monetized
25 successfully was very important.

1 And fundamentally the cost/benefit
2 analysis seems to be just barely breaking even on
3 a lot of these technologies.

4 At the same time there's a strong
5 preference for tried and true, well understood
6 energy storage technologies to be used. In
7 general, those well understood technologies are
8 well understood to cost a lot of money.

9 And so I have noticed in my work that
10 there's very very little funding, perhaps no
11 funding at all currently, from government agencies
12 for the development of new technologies that would
13 be lower cost to provide these functionalities.

14 And I was wondering if the CEC,
15 particularly in the light of the recent stimulus
16 bill, might help to rectify that situation.

17 MR. GRAVELY: I can address that in a
18 couple ways. So the general question is in
19 technologies in general there's a startup phase
20 and a demonstration phase, or other areas.

21 The Commission, since I've been
22 involved, and the direction we have under SB-1250
23 for the Public Interest Energy Research funding is
24 specifically addressing the demonstration phase
25 and closer to the commercial market.

1 So when we have, we have had
2 solicitations in the past, we typically look for
3 projects that already have one or more pilots in
4 the field.

5 Now, we do have a small grant program,
6 but it's limited to 95,000. And in many cases we
7 have encouraged new startup technologies to go
8 from a small grant, demonstrate their capability.
9 In some cases they can take that to a venture
10 capitalist; they can take that to other areas.
11 And we can sometimes even in PIER we're able to do
12 a follow-on presentation.

13 But you're right, the Department of
14 Energy does fund some area here. And this is an
15 area where there isn't a lot of funding right now.
16 The stimulus package is specifically looking for
17 shovel-ready projects. They're looking for
18 technology demonstrations.

19 So, we are interested at our office.
20 You can certainly -- my contact information is
21 available on my presentation in the handout. So,
22 our office, and I'll introduce Pedro Gomez here.
23 Stand up just a second, Pedro. He's a team lead
24 for energy systems integration and energy storage
25 falls under his team. So he works for me and his

1 team does. And so we look at storage all the
2 time.

3 So those that have new technologies,
4 yourself included, I would encourage you to come
5 talk with us. Sometimes we can share what we've
6 learned publicly with you about some of the other
7 success stories, and how to go get things, how to
8 make yourself more acceptable to venture
9 capitalists, things like that. You know, price
10 markets to shoot for and things.

11 So I share that a lot with new venture
12 capitalists. I have -- new companies -- I have
13 venture capitalists that call me all the time
14 because they realize the Commission, it's a public
15 agency and everything I do is for free, but we get
16 exposed to a lot. And so I do -- there are -- I
17 have in the last few years spent a lot of time
18 with venture capitalists that are interested in
19 storage companies. And I always try and mix the
20 two up that are interested, so.

21 But the direct answer is the direction
22 we have from the Commission right now, from the
23 Legislature, is to focus on the later end of
24 technologies, as opposed to an early end. So you
25 would have to go to the National Science

1 Foundation for the government, Department of
2 Energy, Department of Defense to fund some of the
3 startup technologies.

4 I don't have -- other than small grant
5 program, if it works for you I would encourage you
6 to look on our website, the PIER website. It
7 gives all the directions to apply for small
8 grants.

9 We have had several storage technologies
10 obtain funding; and some of those have actually
11 gone into a more detailed scale of development.
12 Okay? Thank you.

13 Questions on that? Anyone? Okay. Next
14 speaker. Is it Praveen?

15 MR. KATHPAL: Yes. Hi. I'm Praveen
16 Kathpal with AES. I'm on the grid stability and
17 efficiency team.

18 And to tell you about some of the work
19 that we've done so far. We have already bought
20 and deployed four megawatts of advanced energy
21 storage technology. Some of that is the work that
22 Charlie from A123 referenced. Two megawatts of
23 that is connected to the grid at one of our power
24 plants in California.

25 And before I get to some of the barriers

1 to us deploying more, including obviously an
2 ability to get paid for the services we provide
3 from that, I want to address the topic of
4 systemwide variability.

5 We've been talking a lot about
6 supporting the RPS targets. And I just want to
7 clarify facts from noise about the location of
8 storage and the benefits of different locations.

9 Variability is a systemwide attribute.
10 It exists in load, and it exists in supply in
11 increasing amounts.

12 To my knowledge there's no benefit of a
13 smooth kilowatt hour of wind or solar from a
14 specific site in the United States today. So the
15 flexibility that storage provides should be
16 thought of on a systemwide basis, not specifically
17 with co-location at a renewable site.

18 I know a lot of incentives are being
19 talked about and thought about where storage is
20 storing renewable energy. But storage stores
21 energy, whether or not it's at a renewable site.

22 Other benefits, such as voltage support
23 and transmission utilization, can be gained from
24 locating the storage at a renewable site. But in
25 terms of the smoothing effects, the variability is

1 mixed in with the entire set of resources, both
2 supply and demand, and storages in other resource
3 that can help provide flexibility to that.

4 Moving on to barriers. We have teed up
5 commercial scale projects that we are ready to
6 deploy. If you like the term shovel-ready, you
7 might use that to describe them.

8 And as far as identifying barriers in
9 California, the number one barrier preventing us
10 from realizing the value in preventing the system
11 and the state from realizing the value of a 20
12 megawatt scale project is access to the California
13 ISO's regulation market.

14 And we understand that work is underway.
15 The faster it can happen the better. A couple
16 other speakers have talked about that already.

17 Another issue is the issue of
18 contracting to the extent that a storage developer
19 can contract with a utility for specific services,
20 to the extent that a utility might self-supply
21 ancillary services rather than buying them off the
22 California ISO market, they could do so via
23 contract with an independent source developer.

24 And our belief is that the technology
25 cost points are in place where that can be done

1 competitive and probably at a cost savings from
2 the market rate. And I believe as Charles
3 mentioned, as a hedge to what might happen in the
4 regulation market as the need for regulation
5 increases and fuel prices change through
6 contracting that can provide a hedge. And a cost
7 savings to benefit the ratepayers.

8 By using a structure like that, rather
9 than deploying storage as a rate-based asset, the
10 risk is not on the backs of the ratepayers, the
11 technology risk.

12 I know in a relatively conservative
13 industry people want long operating histories for
14 technologies. Some of them have that, some of
15 them don't. But a firm like ours has confidence
16 in the abilities of these technologies and is
17 ready to deploy them.

18 Furthermore, by doing so with a company
19 like AES, we own over 40,000 -- own and operate
20 over 40,000 megawatts of generation worldwide,
21 including over 4000 of traditional and wind
22 generation in California.

23 So the skill set of owning and operating
24 a grid asset is in safe hands done by us.

25 Thank you.

1 MR. GRAVELY: So, I don't have any other
2 blue cards. Anybody else want to speak? Walt?
3 By all means, come join us.

4 MR. JOHNSON: With regard to the
5 question of co-location of storage. Certainly
6 it's an intra-hour variability of wind, or other
7 renewable resources, can be addressed by putting
8 storage anywhere. And I take that point.

9 I want to talk for a minute, though,
10 about the impact on the transmission grid and some
11 of the practicalities we face.

12 It may have come to your notice that
13 most of the renewable resources, the wind and
14 solar, at least concentrated solar, are located at
15 places which are difficult to access with regard
16 to the current transmission infrastructure.

17 To the extent that that transmission
18 buildout is a longer process than the construction
19 of the renewable resources, which is usually the
20 case, we are finding ourselves constrained on the
21 transmission side in accessing those resources.

22 One way of mitigating that -- there are
23 a couple of strategies that we're addressing at
24 the ISO to try to mitigate that, besides, of
25 course, trying to construct more transmission.

1 On the one hand there's the question of
2 rating those transmission lines. And you can
3 always argue that if the wind is blowing and
4 turning the turbines, it's probably also cooling
5 the lines. So if we have a dynamic rating on that
6 line, we'd be able to carry more over it. That's
7 not currently how this operates, though.

8 So a lot of the time we're going to be
9 constrained with regard to how much generation we
10 can interconnect because of the transmission line
11 ratings. We'd like to overcome that, and we have
12 some experiments, some test work that's being done
13 right now to try to deal with that.

14 Another strategy for mitigating that,
15 though, would be placing storage co-located with
16 the renewable resource so that it can level the
17 demand on the transmission line for accessing that
18 resource.

19 So I would argue that, in fact, there is
20 some locational benefit for at least intra-day
21 shifting of resources to be able to allow more of
22 that energy to be stored, and then delivered,
23 given the constraints of the transmission system
24 that we currently have and will have for some
25 number of years.

1 Thank you.

2 MR. GRAVELY: Yes. Would you walk up to
3 the mike.

4 MR. TROPSA: Hi. My name is Greg Tropsa
5 with ICE Energy. And I have a question about, to
6 follow up on the comments from Beacon.

7 I think it's all about project finance.
8 These projects are cost effective and they would
9 fall into the bottomline and very easily adopted
10 if we had access to low interest financing, the
11 California Alternative Energy Financing Authority,
12 if you would support accelerated depreciation and
13 tax credits.

14 And we have a lot of projects that we've
15 quoted recently, and it is a high fixed-cost asset
16 with low variable costs. And solving the finance
17 and ownership issue, I think, solves the ability
18 for storage to go into the market.

19 And the question to the CEC, and to you,
20 Mike, is do you get involved with California
21 politics in Washington, to work on federal tax
22 matters? Or is that outside the scope of where
23 the state's willing to go with storage?

24 MR. GRAVELY: Actually, Suzanne's not
25 here, but I'll answer two ways. In the research

1 and development side we clearly do not. And the
2 area of my role is managing the Integrated Energy
3 Policy Report section on storage.

4 What I was going to throw out later,
5 I'll bring up now, is that it was clear to me
6 there's some areas that the Integrated Energy
7 Policy Report is just that, a policy report.

8 As a result of this workshop and other
9 workshops, we will be preparing policy
10 recommendations for our Commission and for the
11 other Commissions to consider as part of the 2009
12 report.

13 So I'm offering to form a smaller
14 committee than the 100 we have today to work up
15 with some of those recommendations. For all
16 people online, once we've got the draft submitted,
17 it goes out in draft form to the public comments.
18 It's incorporated into the policy report, which is
19 shared publicly for public comment. There are
20 workshops on the whole item.

21 So it seems like one valuable outcome of
22 this meeting would be to take some of these policy
23 recommendations, and we had prioritized them and
24 consolidate them into a finite number of actions
25 that we could recommend.

1 At that time I can determine whether
2 those actions are appropriate or not. But there
3 certainly are some that would be appropriate.

4 So what I'm willing to do and what I'm
5 willing to volunteer Pedro and his team to help me
6 with, is to have a couple of WebEx's between now
7 and the June timeframe when we have to prepare the
8 written draft for the IEPR. And come out of this
9 with some recommendations of what we can do to
10 move this technology to a point where there will
11 be more, given the assumption that most people
12 concur that there should be more energy storage in
13 California in 2020 than there is now. And we need
14 to figure out what we can do to work that.

15 The closer we get to politics, the
16 further it gets from me. But I think here --

17 MR. TROPSA: So, okay, that's fair.

18 MR. GRAVELY: -- technically, as well as
19 mostly summarizing what we've learned. And we
20 will take what we've learned today.

21 But even when I ask the top three
22 questions I got some consistency, but there was
23 still maybe eight or nine options, when you add
24 them all together. And so we have to bring that
25 down to something that's executable from there.

1 So I think there is some opportunity for
2 us to do it. The recommendations we give to the
3 Legislature, to the Governor, to other people, it
4 does make a difference. So we can influence it
5 indirectly. But we will take an action.

6 For those that are interested I would
7 encourage you to either send information to the
8 docket or email. My email address for now, we'll
9 use it for the record to get started, is in the
10 handout here in the presentation material.

11 We will do a WebEx, a publicly available
12 WebEx, and we'll discuss it with the ultimate goal
13 of trying to take what we've learned today and put
14 it into something useful for the Integrated Energy
15 Policy Report.

16 I will be providing information to our
17 Commissioners, both in informal presentations and
18 the results of this conference. We very likely
19 may have another technology summary conference a
20 month or two down the road where we'll cover
21 several workshops. And that will be a topic for
22 discussion there potentially, as one of the
23 outcomes from this workshop.

24 So I will leave that as an option.
25 Those that respond I will set up a WebEx through

1 the Commission and we'll talk about it with the
2 ultimate goal of trying to keep the discussion
3 down to what can we do and how can we summarize
4 it, and what is appropriate to go into the 2009
5 IEPR.

6 MR. TROPSA: Okay. If --

7 MR. GRAVELY: In addition to that, we're
8 interested in lessons learned for the research
9 side. So there is some opportunity, but there's
10 also limitations on what we can do when it comes
11 to the advocating of certain politics, for
12 example.

13 MR. TROPSA: And then the last comment I
14 would have is consideration of the loading order,
15 where does it fit with efficiency and demand
16 response and transmission distribution,
17 conventional fossil fuel, you know, including
18 storage in the loading order would be. Send a
19 clear signal to the PUC and --

20 MR. GRAVELY: The loading order is
21 clearly a part that involves in the Energy Action
22 Plan, does evolve from the research in the IEPR.
23 So that's the same organizations.

24 So a vehicle to get there is to go
25 through the IEPR to the loading order as a clear

1 vehicle to get there. But there's some work to go
2 from there.

3 But I think now the key would be to
4 summarize what we've learned today, and that
5 information. And one way of doing that is to have
6 a few more meetings and try and get something that
7 people agree with. And then bring it back as a
8 proposed draft at one of the workshops.

9 The other thing I will mention --

10 MR. TROPSA: I just want to thank you
11 for putting it together. That's -- it's a
12 great --

13 MR. GRAVELY: -- to everybody here,
14 before you all leave, and those online, is that
15 where I did encourage our vendors not to give
16 sales pitches or presentation, I am encouraging
17 everybody to send information to my office and to
18 the docket so we have the record of your
19 technology, for field success, information you
20 want to share publicly. It is a public document,
21 and it will be, so we can share with our
22 Commissioners and with the individual parties what
23 we consider the state of technology today, and
24 where promising technologies are coming up.

25 So that's one of the other objectives of

1 this workshop is to get that feedback in so we can
2 assess for people who want to know. We get calls
3 a lot from the Legislature and other areas to let
4 them know what is the state of technology, and how
5 can they help.

6 And so we want that information if
7 you'll share it with us. Realizing what you share
8 is public, I don't want anything confidential,
9 because I can't protect it. I'll send it back to
10 you.

11 But I am interested in getting the
12 information from the emerging technologies and
13 successful technologies so we can use that
14 information to help convince the policymakers in
15 the state that storage is progressing quite
16 rapidly in the last few years.

17 Questions in the room? Any more
18 questions in the room?

19 Would you un-mute real quick? So what
20 we'll do now, hopefully there won't be too much
21 background noise, we're going to unmute the lines.

22 So those of you on the WebEx, if Rich
23 Mettling is still there? Are you still online,
24 Rich? Rich Mettling, are you still online?

25 MR. SPEAKER: Not that I can see.

1 MR. GRAVELY: Okay, well, he had one
2 question I'll throw out that we didn't get a
3 chance to address earlier. And his question was:
4 Rather than blur the line between T&D and
5 generation, why not a storage capacity payment?

6 So, Chet, you work in the ISO market,
7 has that ever been discussed at all?

8 MR. LYONS: I'm sure it has, but I think
9 there are others that are better equipped to
10 tackle that one.

11 MR. GRAVELY: Any comments from anybody?
12 Walt, any comments on a capacity payment for
13 storage? Is that something that just isn't --

14 MR. JOHNSON: Since we've never
15 considered it a separate resource there's no
16 discussion of that as a storage capacity.

17 MR. GRAVELY: All right, so I just want
18 to answer the question since it was here. I got
19 the perception it may be a little bit outside the
20 box from where we are. Given stuff that's inside
21 the box can't get any quicker than that.

22 Any questions from anybody online?
23 We're about ready to wrap up today. Anybody on
24 the WebEx who has a question they want to bring to
25 the group? Everybody's phone has now been

1 unmuted.

2 Okay, you can mute them back again.

3 MR. LENOX: This is Carl Lenox, can you
4 hear me?

5 MR. GRAVELY: We can, go ahead.

6 MR. LENOX: Okay, I was typing away, but
7 I think I'll make my comments verbally. I wanted
8 to just make a couple of comments from the
9 standpoint of T&D developer now.

10 And the first is, you know, I want to
11 make sure that we're clear that when we talk about
12 (inaudible) output, and the question of ramp rates
13 with (inaudible) or not, so there's a quandary the
14 way you deal with it.

15 I wanted to make a comment about the
16 value of firm generation onto the grid at the
17 point of interconnection. If there's a value
18 there, that will be interesting to capture it.
19 So, again, -- market. If there isn't a value
20 there, then, yeah, there isn't.

21 Long term (inaudible) energy. When you
22 talk about 5 to 20 percent, -- on energy. There's
23 a lot more on capacity. Clearly we need storage.
24 The idea of firming variability, not requiring
25 (inaudible), clearly there's a value there. And

1 so on.

2 So, I think the money message is
3 (inaudible) what is and is not an issue with
4 regards to having renewables on the grid, and
5 where storage can play a role there. I think
6 actually (inaudible), depending on application,
7 where it can be useful.

8 Those are my comments.

9 MR. GRAVELY: Thank you very much.
10 Would you repeat your name again for our recorder,
11 just slowly?

12 MR. LENOX: Sure. This is Carl Lenox
13 from Sun Power.

14 MR. GRAVELY: Thank you very much.
15 Anybody else online?

16 MS. WAY: Yes. This is Julie Way with
17 Solar Reserve. And I would just like to make a
18 few comments.

19 MR. GRAVELY: Sure, go ahead.

20 MS. WAY: Thank you. Good afternoon.
21 Solar Reserve is a renewable energy company
22 developing large, utility-scale solar energy
23 projects. Our technology is both renewable
24 technology and the technology for the thermal
25 storage.

1 The technology of concentrating solar
2 power technology built around a central receiver
3 tower with molten salt thermal storage system.
4 And what distinguishes this technology from other
5 power tower technologies is the heat transfer
6 medium in the receiver, which is the molten salt.

7 The salt is a very efficient heat
8 transfer medium and storage medium. And so we are
9 able to provide the benefits of thermal storage
10 very efficiently and cost effectively.

11 We view the following issues barriers to
12 rapid development of projects like ours in the
13 United States, in California: Lack of
14 transmission to remote locations. Market
15 structure, which we believe places an over-
16 emphasis on projects at the expense of other value
17 drivers, including storage. The lengthy
18 development timelines. And also some of the
19 development uncertainties over things such as
20 mitigation costs.

21 I know that that list will probably
22 surprise no one, and we know that there are
23 efforts underway to address some of these issues,
24 such as the RETI study.

25 The only other comment I would make is

1 that we would point to Spain as an example of
2 where market structures and governmental policies
3 have been deployed effectively to incent both
4 renewables growth and achieve rapid market growth.

5 Thank you.

6 MR. GRAVELY: Okay, thank you very much.
7 We have one more speaker in the room here that
8 wants to talk for one second. Come up and just
9 introduce yourself and then make your comments.

10 You can use this mic here.

11 MR. ZAININGER: Yeah, Hank Zaininger,
12 Zaininger Engineering Company. I wanted to make
13 one little comment about the capacity value of
14 storage.

15 Before deregulation storage did have
16 capacity value, in particular like Helms pump
17 storage. There was a capacity value. There was
18 always some kind of capacity value assigned to
19 like in the Northwest.

20 So I think, as far as your capacity
21 value, that certainly isn't out the window. I
22 know for awhile there was no capacity value when
23 they first started things up. And they did bring
24 it back for generation, I believe it was 15
25 percent. So there is a value.

1 However, if you have a flywheel and you
2 only have a few seconds of storage --

3 MR. LYONS: Well, 15 minutes.

4 MR. ZAININGER: Fifteen minutes --
5 you're probably not going to get much capacity
6 value out of it.

7 Thank you.

8 MR. GRAVELY: Thank you. Anybody else
9 online or anybody else in the room with comments?
10 Okay.

11 I want to thank everybody very much for
12 attending today, and participating. I would like
13 to introduce, in the back, Pramod Kulkarni from
14 the Energy Commission. He's been a champion of
15 storage for over a decade. And we wouldn't be
16 here, I don't think, without his early-on efforts.
17 And I think more people are realizing the value of
18 what we're doing.

19 So there are several areas within the
20 Commission that have supported this technology for
21 quite awhile. And we're trying to get, as you
22 said, the cost of ownership and the value and the
23 ability to pay worked out. We're not there yet,
24 but we'll keep trying.

25 I would encourage everybody that hasn't

1 had a chance to make comments, or has specific
2 comments, or has recommendations for us and things
3 they would like to see as policy recommendations,
4 to send those to the docket address that's on the
5 announcement.

6 We've extended that for two weeks
7 instead of one week. So, the comments are due on
8 the 16th of April.

9 And as I said, if nothing else, those of
10 you who are interested, there will be a draft
11 Integrated Energy Policy Report in the July/August
12 timeframe that will be published on the web.
13 There will be workshops for that.

14 And then so you will be able to see what
15 we're doing. And those that have interest in
16 helping us develop some of those policy
17 recommendations, send an email to myself, or send
18 information to the docket email address so we can
19 set up -- it won't be a meeting like this, it'll
20 just be a WebEx.

21 And we'll work out a time as best is
22 possible. I can't coordinate for 50 people, but
23 I'll do my best to pick a time that's useful for
24 everybody. And try and take the best we can from
25 summaries from this workshop.

1 So, in closing, thank you all very much.
2 I appreciate your time and all your efforts.
3 Thanks to the panel members for their effort and
4 participation, and all the staff we have
5 supporting us. And you guys have a safe trip
6 back. And thank you very much.

7 (Whereupon, at 3:55 p.m., the workshop
8 was adjourned.)

9 --oOo--


10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE OF REPORTER

I, PETER PETTY, an Electronic Reporter, do hereby certify that I am a disinterested person herein; that I recorded the foregoing California Energy Commission Staff Workshop; that it was thereafter transcribed into typewriting.

I further certify that I am not of counsel or attorney for any of the parties to said workshop, nor in any way interested in outcome of said workshop.

IN WITNESS WHEREOF, I have hereunto set my hand this 21st day of April, 2009.



PETER PETTY