

COMMITTEE WORKSHOP
BEFORE THE
CALIFORNIA ENERGY RESOURCES CONSERVATION
AND DEVELOPMENT COMMISSION

In the Matter of:)
2008 Rulemaking on Implementation) Docket No.
of the Waste Heat and Carbon) 08-WHCE-1
Emissions Reduction Act Pursuant)
to Assembly Bill 1613)
-----)

CALIFORNIA ENERGY COMMISSION
HEARING ROOM A
1516 NINTH STREET
SACRAMENTO, CALIFORNIA

MONDAY, APRIL 13, 2009

10:04 A.M.

ORIGINAL

Reported by:
Peter Petty
Contract No. 150-07-001

DOCKET

08-WHCE-1

DATE APR 13 2009

RECD. MAY 07 2009

COMMISSIONERS PRESENT

Jeffrey D. Byron, Presiding Member

ADVISORS and STAFF PRESENT

Kristy Chew, Advisor

Linda Kelly

Arthur J. Soinski

Galen Lemei

ALSO PRESENT

Michael Colvin
Policy and Planning Division
California Public Utilities Commission

Gary Collord
Doug Thompson
Renee Lawver
California Air Resources Board

Keith Davidson
DE Solutions

Hank Leibowitz
Waste Heat Solutions

Barbara R. Barkovich
Barkovich & Yap, Inc.
Coalition for Sustainable Cement Manufacturing

Eric R. Wong
Cummins Power Generation
Clean DG Coalition

Robert Wichert
US Fuel Cell Council

Ray Williams
Pacific Gas and Electric Company

Joseph Szagner
Stanford University

ALSO PRESENT

Marci Burgdorf
Southern California Edison Company

Evelyn Kahl, Attorney
Alcantar & Kahl, LLP
Energy Producers and Users Coalition

Beth Vaughan
California Cogeneration Council

Donald W. Schoenbeck
Regulatory and Cogeneration Services, Inc.
Energy Producers and Users Coalition

Will Grady
Southern California Edison Company

Lisa Marlo Conley
Solar Turbines

Renee Lawver
California Air Resources Board

I N D E X

	Page
Proceedings	1
Opening Remarks	1
Presiding Member Byron	1
Linda Kelly, CEC	3
Introduction and Overview of AB-1613	7
Linda Kelly, CEC	7
Overview and Update on CPUC AB 1613 Rulemaking	10
Michael Colvin, CPUC	10
Questions/Comments	24
Proposed Guidelines	41
Arthur J. Soinski, CEC	41, 89
Questions/Comments	59
CHP in ARB Scoping Plan	101
Gary Collord, CARB	101
Questions/Comments	106
Doug Thompson, CARB	112
Questions/Comments	121
Afternoon Session	133
Discussion - Workshop Notice Issues	133
Presentations	134
Eric Wong, Cummins Power Generation	134
Questions/Comments	140

I N D E X

	Page
Discussion - Workshop Notice Issues - cont'd.	
Presentations - continued	
Keith Davidson, DE Solutions	143
Questions/Comments	151
Marci Burgdorf, SCE	152
Questions/Comments	156
Don Schoenbeck, RCS Inc., EPUC	160
Roundtable Discussion	169
Schedule	262
Linda Kelly, CEC	262
Closing Remarks	264
Presiding Member Byron	264
Adjournment	270
Certificate of Reporter	271

P R O C E E D I N G S

10:04 a.m.

PRESIDING MEMBER BYRON: I apologize for starting a little bit late. Good morning. I'm Commissioner Jeff Byron and I chair the Electricity and Natural Gas Committee. And today's workshop is on the 2008 rulemaking on implementation of the Waste Heat and Carbon Emissions Reduction Act.

This workshop on combined heat and power guidelines was also supposed to have one of my fellow Commissioners here, Commissioner Boyd. And unfortunately he cannot be in two places at once. He's at an important power plant siting case down in Chula Vista. I don't know if we'll have one of his advisors join us or not. However, I feel able to cover this subject area. It's extremely important to this Commission and to me.

If I could make a couple of opening remarks before I turn it over to Ms. Kelly. The combined heat and power seen by this Commission, and has been seen by this Commission, for a long time, as an important ingredient to California's energy future. For a number of reasons, the energy efficiency that's associated with CHP, the

1 greenhouse gas reductions.

2 But also something very important to me,
3 and I think to a lot of consumers in California,
4 is that it provides a choice, a customer choice,
5 that's not available to them otherwise. Oh, maybe
6 one other little thing, and that is that we really
7 look for opportunities to bring private capital
8 into the generation marketplace. Takes risk away
9 from the rest of the consumers, and that's a very
10 attractive option, too.

11 So, for these reasons, and others, I
12 just jotted those down briefly a few minutes ago,
13 CHP is really important.

14 Now, last year the Assembly passed the
15 Waste Heat and Carbon Emissions Reduction Act, AB-
16 1613, which recognizes the potential that CHP has.
17 And under that legislation the Energy Commission
18 has certain obligations, as does the Public
19 Utilities Commission. And therefore, they've
20 opened up a rulemaking. We'll learn more about
21 those details of those actions later today.

22 But there's another organization that's
23 also integrally involved and very interested, and
24 that is the Air Resources Board. They're counting
25 on the increased energy efficiency of combined

1 heat and power to reduce greenhouse gases in their
2 scoping plan.

3 So today's workshop is to inform this
4 Commission, primarily the Integrated Energy Policy
5 Report, on the status of the progress and the
6 recommendations going forward.

7 I see a lot of familiar faces in the
8 audience, some folks that I haven't seen for
9 awhile, and I'm really glad that you're here. I
10 hope that we will have ample opportunity to hear
11 from all of you, opinions of folks I respect very
12 much.

13 So, I will stop there, thank you for
14 coming, and turn this over to our able workshop
15 chair for the day, Ms. Linda Kelly.

16 MS. KELLY: Thank you, Commissioner
17 Byron. Welcome, everybody. Before we start
18 there's some logistics that we have to go over
19 very quickly.

20 First of all, there's a few items. For
21 those of you who are not familiar with the
22 building, the closest restrooms are located out to
23 your left as you go out the door. There's also
24 some restrooms over on the right past the guard if
25 these are too full.

1 In the event of an emergency and the
2 building needs to be evacuated, please follow our
3 employees to the appropriate exits which are here
4 and here. We will reconvene in the park. You
5 should go to the park and then everybody --
6 they'll gather everybody together at the park,
7 which is located across from the building there.
8 And once you're there, if there is no real
9 emergency, it's just a test, then we'll proceed
10 calmly back to the building.

11 Also, there is a snack bar upstairs on
12 the second floor right underneath the awning.

13 For call-in participation for people who
14 want to call in, the number is 888-566-5914. And
15 if you decide to call in, the passcode is
16 rulemaking. It will be a verbal passcode. And
17 the call leader is Linda Kelly.

18 If you're following along or you want to
19 follow along on the webcast, it's
20 www.energy.ca.gov.

21 Participation here in the workshop, I'd
22 like to keep this somewhat informal so we have the
23 opportunity to hear from everybody. The agenda is
24 designed to have presentations at first, and then
25 in the afternoon I'd like to focus on a lot of

1 interaction around the questions.

2 The Public Utilities Commission, we're
3 going to get a briefing on what they're doing.
4 And then our staff guidelines with the background,
5 observations. And then the guidelines.

6 When Michael Colvin speaks from the
7 CPUC, questions after his presentation would be
8 good. For Art, on the staff guidelines, his
9 presentation does some background. And then if
10 you have questions there I think we could ask the
11 questions there.

12 And then he has a very detailed
13 presentation, so to make it easier so that people
14 can keep focusing on the important issues, you
15 know, as he describes each component of the
16 guidelines he'll pause and let you ask questions
17 after each slide. So that way, as you talk about
18 efficiency, we'll be able to have a discussion
19 around that particular recommendation. And then
20 move on through the presentation, rather than
21 trying to wait to the end and have everybody try
22 to remember their questions.

23 If you would, the way we'll do it is
24 Commissioner Byron will have the opportunity to
25 ask a question. We'll go to the audience, and the

1 first time you speak if you will give your
2 information to the court reporter, who is over
3 there next to the tv, he'll take your information.

4 And then if you have subsequent
5 questions during the day, if you'll try to
6 remember to state your name again for people on
7 the telephones, who will not be able to see you.
8 That will really help the court reporter so that
9 we have a full record.

10 This proceeding is also, because it is
11 webcast, it will be recorded. And that recording
12 will be kept -- I'm not sure, but I think it's for
13 a week or two. But there will also be a written
14 recording of this workshop, as well.

15 In the afternoon what I'd like to do is
16 to reshape the room. In the afternoon we have
17 several questions that we've asked for comments
18 on. This is a chance to state your position on
19 the record, to tell us what you think about our
20 requirements.

21 And we have some border questions, too,
22 because the issues around CHP are not always just
23 narrowly focused on 20 megawatts and below.
24 There's a little, you know, there's 22 megawatts,
25 and so the questions are meant to generate good

1 discussion and a lot of information.

2 I think what we're going to do -- I
3 don't think, I know -- I want to reconfigure the
4 room into a roundtable where we'll be able to have
5 20 or more people at the table. And Commissioner
6 Byron is going to join us at that roundtable so
7 that we can have a good interactive discussion.

8 If you don't wish to join us at the
9 roundtable, or if we don't have enough room, the
10 podium will remain and you're free to come up and
11 back and forth during the discussion. But this,
12 again, will be the discussions of the issues and
13 the questions of, as an example, is 60 percent the
14 right number.

15 We have some additional presentations
16 that were just brought to my attention, and so
17 what I'll try to do is get the presentations done,
18 either by the time we convene for lunch, or there
19 may be one or two presentations first thing before
20 we have our discussion in the roundtable format.

21 And at the end, of course, there's
22 always time for public comments.

23 Commissioner Byron just gave you a quick
24 overview, but AB-1613 is legislation that was
25 authored by Blakeslee. It establishes the Waste

1 Heat and Carbon Emissions Reduction Act. The Act
2 was the intent of the Legislature to advance the
3 efficiency of the state's natural gas fleet by
4 utilizing excess waste heat and heat through the
5 use of CHP technology. This particular
6 legislation focuses on 20 megawatts and below.

7 It's expected, and this is the intent of
8 the legislation, that through efficient
9 utilization of waste heat reductions in emissions
10 of carbon dioxide and other carbon based
11 greenhouse gases will result. This is really one
12 of the major focuses of this legislation.

13 Also, of interest to us, as well, is the
14 act also encourages the development of both
15 customer- and utility-owned CHP. I think that
16 there are a lot of challenges with that, but it is
17 brought up in this legislation. And so if anybody
18 has any comments on that, we would appreciate
19 input with regard to that.

20 The responsibilities for this particular
21 rulemaking were spread across three of the state
22 agencies. The Public Utilities Commission
23 establishes the policies and procedures for
24 purchase of excess electricity from the eligible
25 20-megawatt-and-below CHP systems.

1 It is their job to adopt the rates and
2 tariffs for excess electricity purchased from an
3 eligible CHP system. And to adopt procedures to
4 establish a pay-as-you-save pilot program with the
5 IOUs for eligible CHP systems. Michael will give
6 us more information on that and some other
7 proceedings at the CPUC.

8 The California Energy Commission's role
9 is to adopt and develop the combined heat and
10 power technical guidelines that will establish the
11 eligibility of CHP systems for incentive programs
12 to be developed by the CPUC. These guidelines
13 will also apply to the publicly owned utilities,
14 as they begin to adopt tariffs for their CHP
15 customers, as well.

16 The California Air Resources Board,
17 after this all is done, they have to provide a
18 report to the Governor on December 31st of 2011,
19 on the reduction of emissions of greenhouse gases
20 resulting from the increase of -- in CHP that soon
21 will come from this particular legislation.

22 Depending on what that recommendation --
23 depending on what that outcome is, they will then,
24 in this report, be required to recommend further
25 actions to the Legislature to achieve these goals

1 of the legislation, which is to reduce CO2.

2 Now that I've given you an overview of
3 what each of the state's role, I think as the day
4 goes on you'll get a good indication of what we're
5 doing with the guidelines.

6 But I would like to turn this over to
7 Michael Colvin from the CPUC. And he's going to
8 talk to you specifically about what the Public
9 Utilities Commission is doing, and, you know, what
10 they're doing with regard to the CHP OIR and CHP,
11 in general. Michael, you can go right here, yeah.
12 Here. There we go. That's me.

13 MR. COLVIN: That's you.

14 MS. KELLY: Sorry, it takes me awhile to
15 get with this -- okay.

16 (Pause.)

17 MR. COLVIN: Well, good morning,
18 everyone, and good morning, Commissioner. Thank
19 you so much for allowing me the opportunity to
20 come up here today. It is always great to get out
21 of San Francisco and come up to Sacramento. The
22 weather is certainly a lot nicer. So, thank you
23 very much for that.

24 I wanted to just develop a little bit
25 more detail and hopefully be able to do some Q&A,

1 expanding on some of the information that Linda
2 was just providing.

3 What AB-1613 essentially allows us to do
4 is create a feed-in tariff for the excess
5 generation from a CHP facility that is less than
6 20 megawatts in size.

7 And really the goal is to create an
8 incentive that will size an onsite generation
9 efficiently. And then if that efficient siting
10 occurs, and there's some excess generation that
11 needs -- that happens as a result, a place to be
12 able to put that power. And be able to be paid
13 for that power.

14 Essentially promoting what we call
15 thermal match. And we can get into that later if
16 you would like. But essentially being able to
17 maximize the usage of the waste heat from these
18 facilities. So, as I said, allow a facility to
19 sell excess generation.

20 Just to kind of give you a broad
21 overview, we started this procedure back in June.
22 In early February staff released kind of a straw
23 proposal, a draft proposal of here's what we think
24 this might look like.

25 Parties had the opportunity to kind of

1 comment on it a little bit, and we held a workshop
2 at the end of February. We then recently released
3 another ruling just kind of updating the schedule.
4 I'll get into what those updates are looking like.

5 We are collaborating with the Energy
6 Commission both on some of the technical details,
7 some of the technical guidelines. And also just
8 some of the other terms and conditions. They are
9 collaborative staff with us and really trying to
10 make certain that we're trying to get this right.

11 I think, as everyone in the room knows,
12 California is relatively new to the idea of a
13 feed-in tariff in general. It's something that's
14 been out there, but we're really trying to make
15 certain, how do we design a feed-in tariff that's
16 accurate and that makes sense. How do we design
17 it for both renewables, which is happening right
18 now, and how do we also adopt whatever the kind of
19 a model that's sort of more out there for
20 renewables, and how do we adopt that for something
21 like CHP.

22 So there's a lot of very kind of
23 interesting dynamics right now and trying to kind
24 of work on that as best as we can.

25 As Linda mentioned, there is a second

1 part of what AB-1613 asks us to do, which was to
2 develop a pay-as-you-save pilot program. The
3 thinking on the PUC's part is we really want to
4 know what this tariff is going to look like, what
5 this feed-in tariff is going to look like; what
6 are the terms, what are the conditions, what's the
7 money out there, what's the potential?

8 And we wanted to establish that first
9 before we kind of then develop a pilot program on
10 top of it. So the way that the order is going
11 that we're going to develop the tariff first. And
12 then once that's developed, then we'll do a pay-
13 as-you-save pilot program.

14 The pay-as-you-save pilot program, by
15 the way, was modified by AB-2791 to include not
16 only nonprofit organizations, but all state, local
17 and federal government buildings within the state,
18 as well. So, just a minor modification.

19 For those of you who are not familiar
20 with the PUC kind of rulemaking procedures, it's a
21 slightly different crowd. I put at the bottom
22 there our rulemaking number. I encourage anyone
23 and everyone to participate with our process. We
24 try to be as open as possible. So that number is
25 there.

1 As I mentioned, the PUC having the
2 initial staff proposal for a feed-in tariff
3 introduced in 2009, what would this contract look
4 like. And really we kind of wanted to -- there
5 are four areas that I think were really important
6 for us to understand.

7 One, what would the price be paid, you
8 know, for every megawatt hour, how much do you get
9 paid for it. Probably the most important. But
10 also trying to look at some of the interconnection
11 issues since we're dealing with facilities that
12 are -- less and less, can we just do an
13 interconnection at the distribution level. Does
14 it need to be at the transmission level. What
15 would it look like for each, trying to understand
16 some of those rules.

17 Since the goal of 1613 was to really
18 maximize waste heat utilization, or put another
19 way, to reduce greenhouse gases, -- suddenly put
20 into play in a way that hasn't yet been done for
21 combined heat and power facilities. Not saying
22 that it couldn't or shouldn't, it just has not yet
23 been done.

24 And so really trying to understand well,
25 what are the role of these greenhouse gas

1 emissions, since it is both an emitter and an
2 emission reduction strategy. Trying to define
3 that a little bit better.

4 There's some other miscellaneous terms
5 and conditions that needed to get streamlined, as
6 well, to make this hopefully be as easy as
7 possible to design for a feed-in tariff.

8 I would say probably from where our
9 straw proposal was, that's the one where we
10 probably have the most simplification that we can
11 still do, and the most potential to really try and
12 streamline. But it's what's out there now. As
13 I've mentioned, parties submitted comments and the
14 PUC did hold a workshop on it.

15 A point of clarification on this,
16 because I do think there is confusion amongst the
17 parties, confusion within the building at the PUC,
18 confusion just kind of out there.

19 A CHP facility that signs up for a feed-
20 in tariff like this does not need to sign up to be
21 a qualifying facility. Does not need to be a QF,
22 a qualifying facility. Kind of very important. I
23 kind of underscore that. Because there is
24 facilities like this up until this feed-in tariff
25 opportunity came up, the only way that a small new

1 CHP facility would be able to do anything would be
2 through a QF program.

3 This is now another option, another
4 alternative. So the ramifications of that is that
5 since the CHP facility that signs up for this
6 feed-in tariff does not need to be a qualifying
7 facility, the pricing structure and some of the
8 other terms and conditions do not need to be the
9 same as qualifying facilities program pricing or
10 other structures.

11 Simply put, just because we already have
12 a QF program out there, it's -- if a facility
13 wants to sign up to be a qualifying facility, they
14 can go that route. If they want to sign up to use
15 the feed-in tariff, it's a different alternate
16 route.

17 To the Energy Commission's credit they
18 released in 2008, I believe it was September 2008,
19 a very interesting report on feed-in tariff
20 program options, policy designs. I put the CEC
21 report number there. It's well worth taking a
22 look at, especially it gets into this point of
23 well, what would a pricing structure for a feed-in
24 tariff look like if they were a qualifying
25 facility, or if it were something else. And I

1 refer you to that report to kind of get into some
2 of the interesting info that's there.

3 The topics that are currently be
4 considered with respect to 1613, the feed-in
5 tariff, that we're really trying to get into, I've
6 already covered some of this.

7 Some of the miscellaneous terms and
8 conditions, what's the product that I'm actually
9 signing up for, that I'm actually buying. If I'm
10 a utility, that I'm actually selling, if I'm a
11 facility. Really trying to understand that so
12 that it can be, you know, something that you can
13 just sign up for, and doesn't have to get
14 negotiated out. Pricing.

15 A question that we're still trying to
16 determine is the ranges from essentially zero up
17 to 20 megawatts, there's been a lot of feedback
18 from the community saying we might need something
19 even simpler for the really small units. From,
20 you know, perhaps less than 5, even perhaps less
21 than 1 megawatt. And that number has not yet been
22 determined.

23 But the question that is out there is do
24 we need to create one feed-in tariff kind of for
25 everyone, and then perhaps even a further

1 simplification of things. You know, there's a
2 real difference if I'm signing up with a 100
3 kilowatt facility as opposed to a 10 megawatt
4 facility. And so just really trying to look at
5 that. And that's something that is still
6 definitely open for debate.

7 AB-1613 has within the language of the
8 bill a concept of indifference. The customers who
9 sign up for it or don't sign up for it need to be
10 held indifferent. So if I choose not to sign up
11 for 1613, if I'm just another customer, is there a
12 way that I can be held indifferent with regards to
13 this tariff.

14 We've put out a ruling, I believe, last
15 week trying to really solicit some information
16 saying what does this idea of indifference mean
17 with respect to a feed-in tariff, how can we do
18 that in a very defined way.

19 In a very similar matter, the definition
20 of what is or is not a benefiting customer.
21 Signing up for a feed-in tariff and reducing
22 greenhouse gases can result in benefits that are
23 probably just beyond the actual person signing up
24 for it. And so really trying to understand the
25 scope of what is and is not a benefiting customer.

1 There was a lot of very interesting
2 feedback given to us. If we're trying to come up
3 with a new program, do we want to set a total
4 capacity cap first. For example, you know, X
5 number of megawatts, 500 megawatts, 700, you know,
6 1000 megawatts, I'm making the number up off the
7 top of my head, but something to try and see, all
8 right, well, is this program -- have we gotten all
9 these things right.

10 If nobody's signing up for it, does that
11 give us an indication that we need to go back and
12 revise. If too many people are signing up for it,
13 did we make it too simple. Is there lessons that
14 we can learn from it. So trying to kind of build
15 in a step into that process if we need to.

16 And I will also say that there's a lot
17 of, as I mentioned before, there are other feed-in
18 tariffs being developed at the CPUC right now for
19 in the renewable context. And there's a lot of
20 very overlapping issues. And quite frankly, I
21 think we want to make certain that we're doing it
22 consistently across all the different topics. So
23 there is a lot of coordination that is going on
24 behind the scenes.

25 Just to give you a sense of timeline of

1 kind of where we are, and this is still all very
2 rough, as the process goes. We released a ruling
3 at the beginning of April saying, with an updated
4 schedule, and I can refer anyone to that if you
5 want the exact kind of timeline of where things
6 are at.

7 But the idea was there was a couple of
8 issues that frankly the parties just wanted, had
9 asked for. We want to get together kind of on our
10 own and be able to talk about some of this.

11 Certainly I think the three utilities
12 will be able to benefit from getting together so
13 that there can be one tariff that's kind of
14 universal for them to be able to sign up for.

15 Some of the other parties may or may not
16 want to be able to also kind of get together. So
17 the opportunity for the month of April and going
18 into May just a little bit, to be able to
19 negotiate on their own.

20 There will be a filing of kind of
21 proposed revisions off of the staff proposal that
22 we filed in February. That will happen on May 15.
23 Comments on that will then happen from into May
24 and to June.

25 Energy division and myself, because I'm

1 not actually technically in energy division, will
2 review everything that's on the record, both the
3 staff proposal and all of the parties' comments on
4 that, plus the workshop, plus the revised
5 proposals, plus all the comments on that. And put
6 out a final proposal on that.

7 There will be some sort of proposed
8 decision that will happen in the fall, and we'll
9 have a decision well, you know, knock on wood,
10 well before our January 1 deadline. Just kind of
11 a very rough timeline, but just to kind of let you
12 know what's going on with that.

13 MR. DAVIDSON: The -- on that last
14 slide, though --

15 PRESIDING MEMBER BYRON: Keith, --

16 MR. DAVIDSON: Oh, I'm sorry.

17 PRESIDING MEMBER BYRON: Mr. Colvin, if
18 you'll take questions now, or at the end --

19 MR. COLVIN: I have one more slide to
20 go, if you don't mind --

21 PRESIDING MEMBER BYRON: And we welcome
22 your questions, but you'll need to come up to the
23 podium and identify yourself.

24 MR. DAVIDSON: All right.

25 MR. COLVIN: I have, I believe one,

1 maybe two more slides. So let me just finish up.
2 That way I won't lose my train of thought
3 completely.

4 As probably most people in the room have
5 heard me say at least once before, back in October
6 2008 the Energy Commission and the CPUC, together,
7 filed a series of joint recommendations to the Air
8 Resources Board on our greenhouse gas strategies.

9 And we looked at combined heat and
10 power, both as an emitter and as an emissions
11 reduction strategy. And feeding in with what the
12 scoping plan says with the 6.8 million metric tons
13 goal reductions saying that, yes, we recognize CHP
14 as an emissions reduction strategy, but we need an
15 updated policy framework to try and fit this into
16 where our current levels of CHP are, and where we
17 need to get by 2020.

18 And a feed-in tariff -- I apologize
19 before I go down too far, the decision number of
20 where that was, at least from the PUC lingo, is
21 also there for your reference in case you haven't
22 seen it before.

23 A feed-in tariff will be a part of this
24 framework. Whatever we're designing, a feed-in
25 tariff will certainly at least coordinate, if not

1 complement, whatever it is that we're developing.
2 And it will be kind of part of that strategy. So
3 I wanted to just kind of highlight that.

4 Here's how this feed-in tariff that
5 we're really talking about today is going to fit
6 into kind of the larger framework of things.

7 This new what we call an order
8 instituting rulemaking, this new policy framework
9 update on these issues to achieve this target --
10 scoping plan, kind of other policy drivers, as
11 well.

12 Hopefully will be -- not hopefully, will
13 be developed most likely mid this year through
14 2010, kind of the policy framework. And then
15 implementation of it will occur in 2010. Just
16 kind of a very rough timeline. I mention this a
17 little bit, also, at the ARB's hosted working
18 group meeting last month.

19 Just to give you a sense, again, of how
20 a feed-in tariff will fit into this larger idea.
21 The feed-in tariff is really limited to a small
22 facility that is new or repowered. So we're not
23 really discussing, at least today, existing
24 facilities that haven't been repowered in a
25 substantial way, or facilities that are larger

1 than 20 megawatts.

2 There might be some additional questions
3 because that 20 megawatt border is kind of a
4 narrow border. But just wanted to kind of mention
5 here's how this feed-in tariff fits into the big
6 picture.

7 And I believe that's my last slide. My
8 contact info is there. Please feel free to email
9 me, call me. I'll be here, also, all day. And we
10 can open up for questions right now. And thank
11 you very much.

12 PRESIDING MEMBER BYRON: Mr. Colvin, --

13 MR. COLVIN: Yes.

14 PRESIDING MEMBER BYRON: -- I'll go
15 ahead and give you some immediate feedback if I
16 may, and then I'll ask if there are any other
17 questions.

18 First of all, thank you very much for
19 being here. We have not had an opportunity to
20 meet, but I'm very impressed with what I heard in
21 your presentation. And really want to acknowledge
22 your understanding, the PUC's understanding, of
23 this subject area. I think it's improved
24 substantially. And that's good.

25 But I also want to acknowledge the

1 efforts that the PUC needs to make to balance all
2 the various interests involved here. And I think
3 you've done that very well. I was very pleased
4 when I saw this presentation at the end of last
5 week.

6 But, if I may, just a couple of comments
7 and maybe a question or two. When you talked
8 about the feed-in tariff does not need to be a
9 qualifying facility, does that mean that there's
10 no need for a standard offer contract? In other
11 words, they don't have to sign a contract?

12 MR. COLVIN: Let's be very very clear
13 because I don't want to get into trouble while I'm
14 on the record.

15 (Laughter.)

16 PRESIDING MEMBER BYRON: We're very
17 informal here, Mr. Colvin, --

18 MR. COLVIN: Yes. No, no, I know. I
19 thank you for the -- the way that a feed-in tariff
20 will ultimately work, something will need to be
21 signed saying, yes, I'm signing up for this
22 tariff.

23 PRESIDING MEMBER BYRON: Okay.

24 MR. COLVIN: And that will be a
25 contract. And it will probably be a one-shot

1 contract. And it will most likely, for lack of a
2 better term, be a standard offer contract. But in
3 order to not confuse ourselves with the qualifying
4 facility program, it will not be the QF standard
5 offer contract. We're just going to call it a
6 feed-in tariff that just happens to be a contract.

7 There needs to be something that you
8 physically sign, but I do not want there to be the
9 confusion that just because I'm signing up to be a
10 feed-in tariff -- a CHP facility that is signing
11 up for this feed-in tariff, I do not necessarily
12 need to register to be a qualifying facility
13 through FERC.

14 All the rules that were under PURPA do
15 not apply --

16 PRESIDING MEMBER BYRON: Understood.

17 MR. COLVIN: All of our pricing that's
18 done under SRAC does not transfer over.

19 Does that --

20 PRESIDING MEMBER BYRON: Right.

21 MR. COLVIN: -- distinguish that for
22 you?

23 PRESIDING MEMBER BYRON: Absolutely.

24 MR. COLVIN: Excellent.

25 PRESIDING MEMBER BYRON: And, of course,

1 this is a key issue and I hope there's others here
2 that will speak to this, I asked staff for a copy
3 of a standard offer contract, and they only gave
4 me the first 50 pages.

5 And it doesn't take long thumbing
6 through this to see that it's really terms and
7 conditions that become the onerous part of this
8 approach. And so I hope there are others that
9 will speak to this.

10 I'm also glad to see that you've put at
11 the top of your list terms and conditions are an
12 important part of how we figure this all out.

13 MR. COLVIN: Right. And also to just
14 clarify, at least the way that we did it on our
15 kind of straw proposal that we released in
16 February, we really only went through and for
17 convenience sake, and I think this is where some
18 of the confusion came from, knowing that a new
19 qualifying facility contract was coming out,
20 rather than reinvent the wheel completely, since
21 so much of that contract is specific to combined
22 heat and power issues, we did decide to start with
23 that as kind of a template, as kind of the
24 boilerplate; strip out a lot of the things that we
25 thought were QF-specific; put in some new changes;

1 and kind of evolve that contract from there.

2 So, as a result there was a lot of kind
3 of the back part of the contract that were the
4 addendum, the definitions, things that just didn't
5 get updated because we were really focusing on the
6 terms and conditions.

7 The actual staff-proposed contract, that
8 straw proposal, was really, I think, about 20
9 pages in length. It was not -- and I do think
10 there is room to streamline it even further. And
11 hopefully that will happen by the end of the year.

12 PRESIDING MEMBER BYRON: Well, and I
13 don't want to emphasize the number of pages.

14 MR. COLVIN: Yeah, no, I know.

15 PRESIDING MEMBER BYRON: I mean it only
16 takes a sentence or two to make a contract
17 untenable.

18 MR. COLVIN: Yeah.

19 PRESIDING MEMBER BYRON: And so those
20 terms and conditions are extremely important. I
21 hope that other parties will speak to some of
22 these issues, and I'll leave it to others to bring
23 up specifics around those.

24 You know, I'm going to forego my other
25 comments. I guess I'd like -- I noticed when I

1 came in that there are some members of the Air
2 Resources Board that are also in attendance today.

3 I'm not sure if they're on the agenda,
4 but I'd certainly like --

5 MR. COLVIN: I believe they are.

6 PRESIDING MEMBER BYRON: They are?
7 Okay, good. But I'd certainly welcome to hear
8 from them, as well.

9 Let's open it up and see if we have any
10 other questions. Mr. Davidson, you spoke up
11 earlier, so we'll give you first crack. Please
12 identify yourself.

13 MR. DAVIDSON: Yes, Keith Davidson, DE
14 Solutions. And my apologies for breaking
15 protocol.

16 Two questions for you, Michael. One, on
17 the timeline that you had up there, you mentioned
18 that there's a deadline that the decision be
19 reached by the end of the year.

20 I'm just wondering how firm that
21 deadline is, and you know, what happens if we
22 don't make it.

23 MR. COLVIN: The world's going to be
24 sucked into a black hole.

25 No, in all seriousness, I think it's

1 certainly the target. I think -- I have every
2 kind of reasonable expectation that at least the
3 release of the feed-in tariff, itself, will be
4 done well before the end of the year.

5 I'm slightly less confident in saying
6 that when it comes to the second half of
7 developing the pilot program, just because I don't
8 want to commit to that yet.

9 I think it has a shot. I think it has a
10 very good chance of being done before the end of
11 the year. I wouldn't have said it if I didn't
12 think that would be the case.

13 What happens as a consequence, we
14 started our proceeding June 2008, and we typically
15 like to have things go for 18 months and no
16 longer. And so, that's another reason why I kind
17 of put that end of the year deadline out there.

18 MR. DAVIDSON: Okay, just speaking --

19 MR. COLVIN: Is that a good nonanswer
20 for you?

21 MR. DAVIDSON: Yeah. Well, that's good.
22 I mean, speaking for kind of the smaller end of
23 the size spectrum, we don't have a lot of
24 resources to do this. And we've been through a
25 couple other proceedings that have just dragged

1 out and dragged out and dragged out. I mean, the
2 people just can't afford it. And I hope that you
3 can stick with it, so --

4 MR. COLVIN: I not only empathize and
5 hear you, but I'm, again, saying it in a very
6 public forum. I do think it's very possible to
7 get this done by the end of the year.

8 MR. DAVIDSON: Okay. If I -- can you
9 indulge me for my second question?

10 PRESIDING MEMBER BYRON: Sure.

11 MR. DAVIDSON: One of the companies that
12 I work with currently has a combined heat and
13 power plant that was existing pre-AB-1613 that's
14 already in excess of 20 megawatts.

15 And they're planning to put in another
16 unit, a third unit, which would be less than 20
17 megawatts. And the question is, would that
18 incremental unit be eligible to participate in AB-
19 1613.

20 MR. COLVIN: To -- I'm going to give you
21 an answer, but I'm going to give it with the
22 caveat that I need to go back and check and make
23 sure. So, this is not a hundred percent official.

24 I believe that the answer is, it is yes,
25 it's the 20 megawatts, not facilitywide, but

1 unitwide. I believe that that's how that it
2 works. Somebody else in the room can scream at me
3 if I'm saying something horribly wrong, but I
4 don't think I am.

5 I believe that to be the case. Let me
6 go back and double check with our judge and I'll
7 get back to you. But I'm fairly confident in
8 saying yes.

9 PRESIDING MEMBER BYRON: Thank you. Any
10 other questions? Please.

11 MR. LEIBOWITZ: Good morning. My name
12 is Hank Leibowitz, Waste Heat Solutions.

13 Michael, would you confirm that a
14 generator that only uses waste heat, doesn't use
15 any fossil fuel at all or any kind of fuel,
16 qualifies as CHP under this program?

17 MR. COLVIN: You mean so under a
18 bottoming cycle type application?

19 MR. LEIBOWITZ: Yes. Without being part
20 of a fossil fuel engine.

21 MR. COLVIN: Um-hum, I -- yes. Yes, it
22 does.

23 MR. LEIBOWITZ: Good. The second part,
24 which is sort of a segue, I understand --

25 MR. COLVIN: Well, now that I've said

1 that, as long as it meets the CEC's technical
2 guidelines. But, yes.

3 MR. LEIBOWITZ: Well, in terms of 60
4 percent efficiency, a guy named Carnot says you
5 can't do that. If you're only burning
6 electricity, if you're only using waste heat you
7 can't have 60 percent conversion efficiency by the
8 second law of thermodynamics.

9 I don't want to get into that now, but
10 we have to relax that or look at that for waste
11 heat only applications.

12 MR. COLVIN: Again, I'll defer a little
13 bit to where Art's presentation gets in, but I
14 will acknowledge, at least from my perspective at
15 the CPUC, I recognize that sometimes a bottoming
16 cycle waste heat capture unit that you're
17 describing is a slightly different animal than a
18 topping cycle application, which is what most
19 people think of when they think of CHP.

20 Barbara Barkovich is smiling over there,
21 because she has drilled this into my brain of how
22 different those two are. And I'm certainly well
23 aware of those differences.

24 And it's certainly my intention, I
25 believe the CPUC's intention, that both will be

1 able to have the tariff for it.

2 I agree with you that there are some
3 probably subtleties and differences that will need
4 to happen for the technical guidelines, but I
5 wanted -- I don't want to step on Art's toes when
6 I get into that. So, --

7 MR. LEIBOWITZ: Okay. Just is the FIT
8 and a proposed SGIP that would include waste heat
9 mutually exclusive?

10 MR. COLVIN: For everyone else in the
11 room who -- on the phone, who didn't understand
12 all those different acronym soups, FIT is a feed-
13 in tariff, and SGIP is a self generation incentive
14 program.

15 There hasn't been an official
16 determination yet whether or not you can receive
17 an upfront payment from the self generation
18 incentive program. And then sign up for this
19 feed-in tariff. We haven't determined it one way
20 or the other yet.

21 In all honesty, as it currently stands,
22 and this is, of course, always pending to
23 legislation, there are no CHP facilities with the
24 exception of fuel cells that are currently being
25 offered incentives through the SGIP program. So

1 it is slightly a moot point.

2 If that legislation changes, you know, I
3 know there's a proposal out there this round of
4 legislative cycle that that could happen. We'll
5 have to revisit it.

6 So, it's, again, one of those things
7 where it's sort of like we can talk about the
8 principle of it, that in effect any current
9 program, any current facilities that have signed
10 up to receive a self generation incentive program
11 have already been funded. And they're probably no
12 longer considered at this point. So it's a little
13 bit of a -- kind of like I said, it's a little bit
14 of a moot point.

15 If the legislation changes, I don't want
16 to commit one way or the other at this point. I
17 certainly see the arguments going both ways. It,
18 frankly, will depend on what the price sense of
19 being on the feed-in tariff and what the product
20 is and is not, as it's been defined. And to see
21 if there is too much overlap with the SGIP
22 program.

23 MR. LEIBOWITZ: Thank you.

24 PRESIDING MEMBER BYRON: Mr. Leibowitz,
25 good --

1 MR. COLVIN: It's a pleasure to have met
2 you, sir. I've not yet met you before.

3 MR. LEIBOWITZ: All mine.

4 PRESIDING MEMBER BYRON: Mr. Leibowitz,
5 good questions. And good answers. These are --
6 they become esoteric issues to some extent, but
7 they're not, you know. The bottoming cycle issue
8 is an accounting issue that we need to take care
9 of, and the involvement in SGIP, the self
10 generation incentive program.

11 This Commission is certainly in favor of
12 seeing natural gas return to the SGIP. And we're
13 hopeful that there'll be some more legislative
14 action there, as well.

15 So we need to figure these things out.
16 So we appreciate that. Haven't you taken your
17 classes, though, in thermodynamics and understand
18 all these? Sound like you do now.

19 MR. COLVIN: I will admit that I'm a
20 economist by training, and I have a policy degree.
21 And, so thermodynamics is luckily not something
22 that I have to get too much into. But I do have a
23 little bit of a physics background.

24 PRESIDING MEMBER BYRON: You certainly
25 do. I'm glad to see it.

1 MR. COLVIN: So, --

2 PRESIDING MEMBER BYRON: Any other
3 questions for Mr. Colvin?

4 MR. COLVIN: Well, excellent.

5 PRESIDING MEMBER BYRON: In that case
6 I'd just like to say --

7 MS. KELLY: Are there any questions on
8 the phone?

9 PRESIDING MEMBER BYRON: Oh, yes. No
10 questions on the phone.

11 I'm really glad, Mr. Davidson, you
12 brought up this issue about participation in the
13 proceeding. We're concerned about that, as well.
14 The smaller generators obviously are struggling,
15 if you will. And customers really aren't
16 represented here except through some of the
17 vendors that may participate today.

18 But we're concerned about this, as well.
19 And I hope that some of the others that are
20 present here will speak to this issue. It's
21 somewhat of an unrepresented sector, at least on
22 the small end, the small size. And it raises a
23 question, what comes first, maybe, the chicken or
24 the egg.

25 MR. DAVIDSON: Right.

1 PRESIDING MEMBER BYRON: This sector,
2 this combined heat and power distributed
3 generation, distributed -- resources sector has
4 been struggling for a long time. And I think we
5 have known that many of these electrons pass
6 through San Francisco, and that we've got to get
7 this figured out.

8 But they don't all. And there are some
9 good examples of CHP projects that are being
10 developed in municipal service territories. And
11 we need to pay attention to those, as well, --

12 MR. DAVIDSON: Right.

13 PRESIDING MEMBER BYRON: -- with
14 significantly lower rates, those are made to look
15 attractive financially and/or it's what customers
16 want.

17 So I think part of that, we need to keep
18 that in mind, as well, because that's part of what
19 we're trying to do, is open up this market
20 opportunity because it certainly has been closed
21 or capped, to some extent.

22 Mr. Colvin, you wanted to add something?

23 MR. COLVIN: I wholeheartedly agree with
24 you, for the most part. It's certainly my belief
25 that we -- I'm going to use an analogy similar to

1 the solar experience. It's not a perfect, but
2 it's somewhat similar.

3 You need both the utilities, you need
4 the people who are actually putting these
5 facilities on their location. And then you also
6 need the manufacturers, the people who are
7 actually building those things. And you kind of
8 need that triangle of people in order to
9 understand the full dynamics of what's going on
10 here.

11 And I think especially at the lower end
12 of the scale, the representation is not going to
13 be done by the utilities or by the people who are
14 necessarily putting the facilities onsite. But
15 it's going to be done through the manufacturing
16 community.

17 And that's going to be a trick of, okay,
18 if I build it, you know, here -- here's how you
19 would have to go and build it, and here's the
20 tariff that you would sign up for. And let me
21 understand it all at once.

22 And I would hope that the manufacturing
23 community is also aware of this process. But I do
24 think you need all three to be participating in
25 order to have success occur.

1 PRESIDING MEMBER BYRON: You show a good
2 understanding of all these issues. I'm glad that
3 we have you at the PUC.

4 MR. COLVIN: Thank you.

5 MS. KELLY: Thank you, Michael.

6 Our next speaker --

7 (Pause.)

8 PRESIDING MEMBER BYRON: So I hope you
9 will, Mr. Colvin, I hope you will be able to stay
10 with us for the rest of the day. Good.

11 MR. COLVIN: Yes.

12 (Pause.)

13 MS. KELLY: Sorry; I'm just not really
14 good at this job. Commissioner Byron, our next
15 speaker is going to be Art Soinski.

16 And while I'm up here I would like to
17 also just let everybody know that our team has --
18 the gentleman that was just here and leaving,
19 that's Galen Lemei. He's our counsel. And in the
20 back of the room Pramod Kulkarni, would you raise
21 your hand? And here's Galen, again.

22 Along with Art and myself, this is the
23 CHP team. We're looking at, we're doing AB-1613,
24 but we're also working on the IEPR. CHP is going
25 to be an important issue in the IEPR. And so

1 we'll be working on all things CHP over the next
2 year. So I just wanted to introduce the rest of
3 the team here.

4 Going forward, the next presentation is
5 going to be by Art Soinski. Art is going to go
6 over the background, the self generation incentive
7 programs and some of the things that he looked at
8 before putting together the recommendations for
9 these guidelines.

10 So if you could just hold your questions
11 while he goes over the background, and then as I
12 indicated earlier, slide by slide we'll be glad to
13 take your questions as they come up with regard to
14 each of the standards.

15 So, Art. I think I can get this up here
16 now. There we go.

17 (Pause.)

18 DR. SOINSKI: Good morning. It's really
19 a pleasure for me to be working on AB-1613. I
20 think it's really great legislation. And the
21 reason I say that is for most of my career,
22 getting on to 30 years, I've been involved in
23 technology characterization, research, development
24 and demonstrating funding. And trying to get
25 technologies, especially distributed generation

1 technologies, into the marketplace.

2 And for several years I was on the
3 environmentally preferred advanced generation team
4 of the Public Interest Energy Research program,
5 directing a group that was really trying to
6 promote primarily combustion technologies,
7 although we did some fuel cell work, also.

8 And about four or five years ago it
9 became pretty apparent to me that combined heat
10 and power was the way that distributed generation
11 was going to take off in the state if it was going
12 to take off at all. Because of the improved value
13 that it offered in terms of efficiency and
14 greenhouse gas mitigation.

15 And to my mind, you know, doing a pure
16 electric, and Hank Leibowitz brought up the point
17 of, you know, the Carnot cycle won't give you 60
18 percent. I don't know if that's really true. I
19 guess it depends on what your high temperature
20 reservoir and what your cold temperature reservoir
21 are.

22 But certainly it is true that if you
23 take the Stirling engine as an example, which is
24 something, one of the technologies that we've been
25 looking at in the PIER program, you're usually

1 below 40 percent. And the reason for that is you
2 don't have materials that can give you the
3 sufficiently high temperatures on the hot end to
4 get it.

5 But then, of course, that's just one
6 aspect of it. There's also the using the waste
7 heat, or using the heat prior to generation for
8 thermal needs, in which case potentially you could
9 use that.

10 So, I guess I'd have to go through that
11 calculation. Very interesting point, Hank, and
12 I'm really glad you brought it up.

13 So, like I said, I think it's great
14 legislation because it is actually a way of
15 getting CHP to market, which is something I'd
16 really like to see.

17 And so I took on this job. I didn't
18 realize what it was. It's a lot different than
19 anything I've been doing before. Creates a whole
20 new set of challenges dealing with lawyers and
21 utilities, and much less with the private sector,
22 combined heat and power developers.

23 This is a topical outline, talk about
24 the development of the guidelines, the process and
25 the objectives that I had in doing this, and the

1 struggles that I've gone through and continue to
2 go through, as has Michael Colvin at the CPUC.

3 The characteristics of an eligible
4 combined heat and power system, and a generator,
5 the customer, itself, as in AB-1613. Heating
6 value definitions, the difference between high
7 heating value and low heating value, and whether
8 we target 60 percent as the minimum on a higher
9 heating value or lower heating value does make a
10 difference.

11 The self generation program, because
12 it's a model in several respects. One of which is
13 that it has dealt with distributed generation in
14 combined heat and power. The other that it has
15 evolved over time via legislation and decisions by
16 the CPUC it has changed.

17 And I think probably what we're going to
18 see with AB-1613 implementation is that there will
19 be changes over time. Michael alluded to the
20 fact, you know, what if you get more CHP than you
21 thought, or what if you get less, what do you do.
22 How do you self correct, or how do you correct.

23 And also there's even legislation right
24 now from Senator Kehoe on this self generation
25 incentive program. So it's a continuing process

1 of iteration.

2 And then the most important part, my
3 staff proposals on performance metrics, what I
4 call information requirements and calculations.
5 Don't have all the calculations worked out in my
6 head yet. Hopefully I'll get them down on paper
7 within the next month.

8 And an issue that could potentially be
9 contentious, I think, is how do you determine
10 compliance. And if you have noncompliance, what
11 are the alternatives that the buyer of the
12 electricity might have. And what are the options
13 that the owner of the combined heat and power
14 system has.

15 So, development of the guidelines. I
16 distinguish between the objective, which is to
17 combine the system requirements, the CHP system
18 requirements, that reduce wasteful consumption of
19 energy. That reduce greenhouse gas emissions.
20 And that facilitate more CHP installations.

21 And then the process that I went through
22 was to address, one by one, the very specifics
23 that are in the AB-1613 legislation. And I will
24 go through those in terms of what I call staff
25 proposals.

1 I looked at other legislation and other
2 programs related to CHP and greenhouse gas
3 emission reductions. And those are being
4 addressed in part. You'll hear about the AB-32
5 process, which is very important, at the Air
6 Resources Board.

7 And proposed regulatory requirements
8 that meet the objectives of the act in terms of
9 performance metrics, collecting and reporting
10 various characteristics, including site load
11 profiles to prevent independent assessments of the
12 design and operation of the CHP system. And then
13 performance verification to assure continued
14 compliance.

15 One of the big questions that I have is
16 will AB-1613 achieve the goals that it sets out to
17 be. And will it achieve the goals that the ARB
18 has in terms of greenhouse gas mitigation.

19 And I guess one of the things is you
20 could either have, you know, a gold rush, or you
21 could have a drought in terms of CHP
22 implementation. And I really don't know, I can't
23 predict. If someone has any perspective on that,
24 I certainly would appreciate that.

25 One of the things is the performance

1 requirements of -- and Michael mentioned this --
2 doesn't automatically qualify for a feed-in
3 tariff. There is a contract that has to be
4 signed. There is reporting, at least in the draft
5 there are forecasting requirements of electricity
6 sales. And there's an insurance requirement.

7 On the positive side, there is, as
8 Michael said, you can now design to the thermal
9 requirements of the site without the concern about
10 whether you have excess electricity or not. So
11 this has important implications from both the
12 design aspects of the CHP system, and the
13 operational characteristics of a CHP system as the
14 thermal-to-electric loads change throughout a day,
15 or throughout any given temporal cycle.

16 These are the characteristics of a
17 combined heat and power system. These are
18 directly from the legislation. And my
19 interpretation is that these requirements are set
20 by law, and therefore there is no flexibility in
21 terms of if there's a numerical specification,
22 although there are some terms that certainly
23 requires interpretation. And people could, you
24 know, come to one side or the other.

25 In that case I've actually proposed a --

1 I've made proposals, and I'm anxious to get any
2 comments that people have whether these are too
3 strict or too lenient, and what the implications
4 are of strictness or leniency in terms of
5 achieving the objectives of the act, in terms of
6 saving energy and in terms of actually getting
7 greenhouse gas reductions.

8 The requirements -- has to be
9 interconnected to the grid, either distribution
10 level or transmission level. Is sized to meet
11 onsite thermal demand, which is something that
12 needs to be defined.

13 Has a minimum 60 percent efficiency
14 measured as useful energy output divided by the
15 fuel input at 100 percent load, at one point. One
16 of the things I've been troubled by is how do you
17 translate a 60 percent efficiency requirement at
18 100 percent load into an annual average efficiency
19 number. And is there a requirement that should be
20 put on that.

21 Meets NOx emission standard of .07
22 pounds per megawatt hour. For those of you who
23 are familiar with the Air Resources Board DG
24 certification program, this is a requirement that
25 went into effect, I believe, January 1st of 2007.

1 There's also a particulate emissions
2 standard in terms of their certification program.
3 There's also a carbon monoxide emission standard.
4 This legislation does not specify either of those.
5 It's strictly NOx.

6 And if the system, the CHP system, meets
7 the 60 percent efficiency, then the thermal output
8 of the system counts toward meeting the .07 pounds
9 per megawatt hour by making the standard
10 conversion factor.

11 And then it meets a greenhouse gas
12 emission performance standard. The number is not
13 actually cited in the legislation, but it's the
14 result of hearings and decisions made at the
15 Energy Commission. I believe the PUC, also.
16 Eleven hundred pounds of carbon monoxide -- or
17 carbon dioxide per megawatt hour. As a chemist
18 you'd think I'd never make that mistake between
19 carbon dioxide and carbon monoxide.

20 Okay. And then so that's the system
21 requirement. And there's also requirements of the
22 generator, the owner. And it has to be a customer
23 of an electrical corporation, so this is both
24 investor-owned utilities and publicly owned
25 utilities, that uses a CHP system with a

1 generating capacity not more than 20 megawatts.

2 And my proposal is that, you know, how
3 do you measure the 20 megawatts. It's a nameplate
4 rating, less parasitic electric loads that are
5 needed to operate the generator, itself. That
6 first commences operation after January 1, 2008,
7 which is in the legislation. And uses a two-way
8 time-of-use meter. So, those are those.

9 Heating value. Many of you know this,
10 many -- well, I think probably most people know
11 it, there's not always a distinction, but heating
12 value is an old thermodynamic term that goes back
13 long before the science of thermodynamics was
14 established. But to the people who established
15 the foundations of thermodynamics, by making
16 careful measurements of gases and chemical
17 reactions over time.

18 And it's really the combustion or
19 oxidation of a fuel, I call it a chemical or
20 chemical mixture, because it doesn't necessarily
21 have to be something that's commonly used as a
22 fuel. Under controlled conditions. So it's
23 really a laboratory-type measurement.

24 The higher heating value is the heat
25 released when the products of combustion are

1 brought back to the starting temperature, which is
2 room temperature, 25 degrees Centigrade. Under
3 those conditions water is a liquid. And the
4 heated vaporization is recovered from the heat
5 that is released. And therefore, this gives you a
6 value that's more generous, if you will, in terms
7 of the heat content.

8 The lower heating value which is used in
9 gas turbines and combined cycle plants, in terms
10 of specifying their heating value, is the heat
11 released when the water is in the vapor stage,
12 some temperature above 100 degrees Centigrade, or
13 212 Fahrenheit. And all the other products are at
14 the same temperatures. So this would typically be
15 done somewhere around a temperature of 150 degrees
16 Centigrade, that this would be measured.

17 Now, why does it matter, and why do
18 people care about arguing about heating value?
19 It's because there is a difference, about 9
20 percent, for natural gas between the higher
21 heating value and the lower heating value.

22 And if you take the 60 percent
23 requirement of efficiency in AB-1613, say that
24 that's a higher heating value requirement, then
25 that becomes 66 to 67 percent, on that order,

1 lower heating value of efficiency requirement.

2 And I note that it can be difficult when
3 you're reading the literature and specification
4 sheets to determine whether HHV or LHV is being
5 used. And one of the things that was very
6 surprising to me, including looking at FERC with
7 respect to PURPA, is that the word energy and
8 power were used interchangeably in terms of
9 definitions. And they are definitely not the same
10 to the engineer or the physicist.

11 So there is the common unit of the
12 kilowatt hour and the common unit of power, which
13 is the kilowatt.

14 Background. Why am I using the self
15 generation incentive program as one model for
16 preparing these guidelines? And the reason for
17 that is when you look at the legislation in AB-
18 1613, you look at the legislation for the self
19 generation program, is that many of the languages
20 that you find, the efficiency levels, the
21 specifications are the same between the two.
22 Obviously been communication and an attempt to
23 provide some type of similarity between the two
24 types of programs.

25 The stakeholders are the same. The CPUC

1 implements the SGIP program, or the legislation
2 via decisions. The California investor-owned
3 utilities administer the SGIP. They would be the
4 buyers, one of the groups of buyers under the AB-
5 1613.

6 The requirements for the SGIP are
7 described in a series of handbooks, several of
8 which -- just told that I was not really talking
9 into the microphone, thank you -- which are
10 publicly available historically and more recently.
11 So you can actually track the requirements on the
12 SGIP over time.

13 There's a working group which has not
14 met recently, as far as I know. The Energy
15 Commission is a member. And it has worked through
16 a lot of the procedures and implementation
17 mechanisms informally collaboratively in terms of
18 the implementation of the SGIP.

19 And one of the things that's very
20 important is that the effectiveness of the SGIP
21 has been assessed in a series of administrative
22 funded studies, or administrator funded studies.
23 And under the AB-2778 the Energy Commission's
24 evaluation of it. And that was the subject of a
25 whole chapter of the 2008 Integrated Energy Policy

1 Report update.

2 So there's a lot of analyses, a lot of
3 history on CHP and DG over the last several years
4 reflected in the SGIP.

5 The history, basically, is started in
6 the year 2000 under AB-270. There's some
7 redefinition clarifications in 2003 by legislation
8 under Leno. That legislation specifically sets a
9 60 percent, greater than or equal to 60 percent
10 efficiency requirement based on the higher heating
11 value.

12 Legislation by Leber, AB-2778, also sets
13 a CHP requirement based on an HHV basis for CHP,
14 and also allows electric-only DG to have 40
15 percent efficiency requirement. And it limited
16 the SGIP to fuel cells and wind from January 1st
17 of 2008 until January 1st of 2012. So right now
18 CHP is not within the -- as eligible for receiving
19 subsidies under the SGIP.

20 So, when you look at through December
21 31st of 2006, which is roughly four or five years
22 of operation of the SGIP, 342 DG systems were
23 installed, DG/CHP-based systems were installed;
24 165 megawatts of capacity, which is on the order
25 of 30 megawatts a year. And that's an important

1 number to consider within the context of looking
2 for 4000 megawatts of CHP under AB-32.

3 During the year 2006, that calendar
4 year, fuel cells and gas turbine based systems
5 achieved the 60 percent HHV efficiency requirement
6 when internal combustion engines and microturbine-
7 based systems did not. And that's one reason why
8 I'm proposing that there be some reporting
9 requirements and some load profiles developed
10 under the guidelines for AB-1613, to assure that
11 this situation does not occur in the future.

12 And I think there could be a lot of
13 debate and perhaps there'll be some data presented
14 by other people in terms of why is this, in fact,
15 occurring. Why are these low.

16 And one of the things that was
17 distressing to me is during 2006 the owners of
18 nonrenewable, that is fossil-based fuels, had
19 operation and maintenance costs, including fuel
20 costs, that exceeded the electric bill savings,
21 except for fuel cells. So, for the owners of the
22 systems, CHP was not a good deal.

23 And with respect to the .07 pounds of
24 NOx per megawatt hour, no CHP systems became
25 operational under that requirement. They came

1 under requirement with .14 pounds of NOx per
2 megawatt hour. So an interesting question is if
3 that requirement is imposed, will there be certain
4 technologies that will not be able to meet a .07
5 pounds of NOx per megawatt hour requirement with a
6 CHP credit.

7 So, looking at these things, you know,
8 it's somewhat relevant, these observations are
9 somewhat relevant, but there is a difference. One
10 is the size difference. Another is that the
11 incentive for the SGIP was based on rated capacity
12 rather than on energy output or what I call
13 performance based payments.

14 And so I think a lot of the issues that
15 arose during the SGIP would not apply under the
16 AB-1613, because if there's no performance there's
17 not going to be any payment for electricity, no
18 production -- no sales.

19 So, that --

20 PRESIDING MEMBER BYRON: Mr. Soinski,
21 just a quick question. MTG, is that methanol to
22 gas, what --

23 DR. SOINSKI: That's microturbine
24 generator.

25 PRESIDING MEMBER BYRON: Microturbines,

1 thank you.

2 DR. SOINSKI: On this slide it's in the
3 first bullet.

4 PRESIDING MEMBER BYRON: All right,
5 and --

6 DR. SOINSKI: I'm sorry, I got tired
7 of --

8 PRESIDING MEMBER BYRON: No, I missed
9 it. You're absolutely right, it's there.

10 DR. SOINSKI: -- writing out all these
11 terms. And cluttering up the slides and violating
12 the rules that we're not supposed to have more
13 than what is it, nine words per bullet or
14 something like that, which I --

15 PRESIDING MEMBER BYRON: All right,
16 well, we won't count those.

17 DR. SOINSKI: -- which I violated many
18 many times --

19 PRESIDING MEMBER BYRON: But there are
20 some key points in here. I hope that some of the
21 participants in today's meeting will be able to
22 address some of these observations that you've
23 made. Thank you, go ahead.

24 DR. SOINSKI: Right, yeah, I don't want
25 to call these conclusions. I make a big

1 difference between conclusions and observations.

2 I think these are just observations. Why do these
3 things happen? What's the cause and effect? I
4 don't know.

5 And if somebody has perspectives on some
6 of these aspects, I'd really want to know.
7 Because one of the concerns I have is how do we
8 avoid having failures in a new program, if they
9 were failures, or deficiencies in a new program
10 that we had in an old program, you know, old
11 program.

12 So, don't beat up CHP, it's my view,
13 because some systems did not perform well in the
14 past. Look at how we can make it better to insure
15 that they perform well in the future going
16 forward.

17 And that goes through about half my
18 presentation. And, Commissioner, do you have any
19 other questions? This is sort of, this is the
20 background observations. Sort of trying to tell
21 you where I'm coming from. And its transition to
22 going forward where I'm now going to tell you
23 where I've come down on the line one way or the
24 other.

25 And hopefully get a lot of comments,

1 slide-by-slide, topic-by-topic on whether it's
2 correct perspectives, disagreements as to, you
3 know, where I've come down to really establish a
4 better understanding on my part and everybody's
5 part as to where we should be going with respect
6 to specific requirements.

7 PRESIDING MEMBER BYRON: Okay. Then
8 let's pause here for a second and take this as a
9 transition.

10 DR. SOINSKI: Yes.

11 PRESIDING MEMBER BYRON: And, Mr.
12 Soinski, it's great to have you on this program.
13 We got a great team now that we've pulled together
14 in this subject area.

15 I do not have any specific questions,
16 but there's lots smarter people in the audience
17 than me. Maybe they'll have a couple of comments
18 or questions, and then we'll proceed into the
19 second half of your presentation.

20 Anyone care to ask a question or make a
21 comment? Please.

22 MR. LEIBOWITZ: Art, when you put 60 --

23 PRESIDING MEMBER BYRON: This is Mr.
24 Leibowitz.

25 MR. LEIBOWITZ: Oh, I'm sorry, Hank

1 Leibowitz, Waste Heat Solutions.

2 DR. SOINSKI: We've met.

3 MR. LEIBOWITZ: When you indicate 60
4 percent heating value for a --

5 DR. SOINSKI: Yes.

6 MR. LEIBOWITZ: -- efficiency
7 requirement for a 20 megawatt system, aren't you
8 inviting developers to put in less efficient prime
9 movers that have lots of heat in the exhaust with
10 which you can capture and make process steam or
11 something, but because the 60 percent bar is so
12 high, it understates the value of electricity, if
13 you bundle electricity and heat together? If you
14 don't give electricity its due. Do you understand
15 the point I'm making?

16 DR. SOINSKI: Oh, very definitely.
17 You're talking what I would call second law --

18 MR. LEIBOWITZ: Yeah.

19 DR. SOINSKI: -- analyses versus first
20 law analyses.

21 MR. LEIBOWITZ: So you're going to get a
22 guy with --

23 DR. SOINSKI: Which I don't want to go
24 into here. But, yes, you're correct. There's
25 always an issue in my mind when you value

1 electricity and thermal energy, especially lower
2 grade thermal energy, the same.

3 Right, is I think what you're saying?

4 MR. LEIBOWITZ: Yes.

5 DR. SOINSKI: Right.

6 MR. LEIBOWITZ: Was that an intended
7 prescription here, to equate them as equals?

8 DR. SOINSKI: Well, I'll get to that
9 specifically in the future when I define -- when I
10 settle up energy output versus fuel input to
11 calculate the 60 percent. And I imagine you've
12 looked at that. And, yes, I am doing that. And I
13 understand the implications of doing that from a
14 thermodynamic standpoint.

15 And I understand also that that may push
16 you in the direction of certain technologies as
17 opposed to other technologies. Which raises a lot
18 of interesting questions of do you have different
19 efficiency standards for different prime movers.
20 One way you could potentially address this
21 problem.

22 And I'd like to hear, you know, comments
23 from people as to what their perspective is, and
24 how they would see treating this problem.

25 Frankly, I had enough problem getting to

1 the point I am today with just lumping all
2 technologies together, compared to separating them
3 out.

4 But, no, I do understand that there are
5 different power-to-heat ratios, and that you can
6 buy, as people, in one direction or the other by
7 having a combined efficiency number where you
8 treat electric and thermal equally.

9 MR. LEIBOWITZ: Thank you.

10 DR. SOINSKI: Okay. Does anybody have a
11 comment on --

12 PRESIDING MEMBER BYRON: Ms. Barkovich,
13 come on forward.

14 DR. BARKOVICH: Thank you. I'm Barbara
15 Barkovich; I'm representing the Coalition for
16 Sustainable Cement Manufacturing and the
17 environment.

18 With respect to the slide you had on
19 page 4, and I know this comes from the statute,
20 but it has certain attributes that are alleged to
21 be characteristics of an eligible combined heat
22 and power system.

23 And the second bullet says it's sized to
24 meet onsite thermal load. Well, that's a good
25 topping cycle comment, but has nothing to do with

1 bottoming cycle applications.

2 And the last point, which has to do with
3 meeting greenhouse gas emission performance
4 standards of 1100 pounds of CO2 per megawatt hour,
5 the Public Utilities Commission has adopted a
6 standard there, but there's an outstanding
7 petition for modification of that standard as it
8 applies to bottoming cycle applications.

9 So, from those comments and some of my
10 reading ahead, since we received these in advance,
11 it seems to me that the analysis that's here is
12 largely focused on topping cycle applications.

13 And would you -- I assume you would
14 solicit comments on April 27th with respect to
15 bottoming cycle? It seems to me that a lot of
16 this analysis is not entirely apropos.

17 DR. SOINSKI: On April 27th -- oh, you
18 mean the written comments.

19 DR. BARKOVICH: Yes. I mean I'm happy
20 to give you oral comments today, but, as you know,
21 I'm a one-trick pony here. I'm going to keep
22 talking bottoming cycle, aka waste heat recovery.
23 We have an alliance here I've just discovered.

24 DR. SOINSKI: You found a friend. Well,
25 we've, of course, talked informally over the last

1 few months. And it's what do you do when you've
2 got legislation that directs you to something.

3 And, you know, if someone has specific
4 suggestions, which is, I think, one reason why
5 we're here talking to the Commissioners, or before
6 the Commissioner, is, you know, what can we do
7 potentially to correct these things.

8 I don't know that there's -- to my mind
9 when there's a legislative requirement I don't see
10 that I can, you know, interpret -- I guess we
11 might, you know, say are you a strict
12 constructionist or, you know, loose. And I'm not
13 a lawyer and I'm certainly not a constitutional
14 lawyer.

15 But if, you know, it may be that there
16 should be some change in the legislation, you
17 know, or, you know, other remedies that could be
18 provided in terms of addressing the needs of
19 bottoming cycle industries, as opposed to topping
20 cycle industries, yes.

21 DR. BARKOVICH: Well, I can certainly
22 talk to Assemblyman Blakeslee. I don't have any
23 problem with that. But, it seems to me that if a
24 decision is going to be made here, that the entire
25 structure will be based on topping cycle because

1 of the limitations of the language in the statute,
2 I would like to know that sooner rather than later
3 so I can take whatever action on behalf of my
4 clients as appropriate.

5 I mean, as you and I have discussed,
6 it's not even clear to me that they're intending
7 to sell any electricity. I think they're planning
8 on using it themselves.

9 But there may be other waste heat
10 recovery applications where somebody would want to
11 sell their power. And if somebody's going to make
12 a legal determination that it's precluded by the
13 statute, then the sooner we know that the better,
14 so we can talk to the author.

15 Thank you.

16 PRESIDING MEMBER BYRON: Yeah, thank
17 you, Ms. Barkovich. And in Mr. Soinski's defense,
18 he's not --

19 DR. BARKOVICH: He's not a lawyer.

20 PRESIDING MEMBER BYRON: -- yeah, he's
21 not an attorney, nor is he the one that'll make
22 this determination. But I think it's incumbent --
23 the answer to your question is yes, we are
24 interested in your written comments on this
25 subject. I think they can be very helpful.

1 And we can certainly address legally
2 what's required and what we can do to address this
3 bottoming cycle, or waste heat recovery issue
4 within the confines of the existing legislation.
5 Because it's very possible that the author did not
6 think about this when he had this. But he's very
7 approachable. And so we'll get to the bottom of
8 this. But we certainly want your comments and
9 input as it applies to the waste heat recovery.

10 I think we have another question. Would
11 you come forward, please?

12 MR. WICHERT: Hi, Art. My name's Robert
13 Wichert; I'm the technical director of the US Fuel
14 Cell Council. Nice to meet you, Commissioner
15 Byron.

16 I also, in the interest of full
17 disclosure, am the chairman of ASMEPTC 50, and I'm
18 also the secretary of the California Alliance for
19 Distributed Energy Resources. So, just full
20 disclosure.

21 This is a fuel cell council comment, if
22 I could. In listening to Hank Leibowitz, I think
23 I want to try and take it to the illogical
24 extreme. And he's right. If you had a boiler,
25 the efficiency might be quite high and you would

1 make no electricity at all.

2 And so I think we need to think
3 carefully about our efficiency requirements for
4 these combined heat and power systems, and insure
5 that they do provide a high level of combined
6 efficiency, and not just heating efficiency.

7 That's really all I have right now.

8 Thank you very much.

9 PRESIDING MEMBER BYRON: Thank you.

10 DR. SOINSKI: Yes, you can get on the
11 order of 80, 85 percent efficiency from a boiler,
12 depending on whether producing steam or hot water,
13 for example, if you look at standard spec sheets
14 from a packaged boiler manufacturer.

15 So, yes, I, again, I understand the
16 point.

17 PRESIDING MEMBER BYRON: Let me ask,
18 there were two observations in Mr. Soinski's
19 slides. I'd like to ask does anybody in the
20 audience wishes to address, just because this
21 seems to be a good time to do it, if you will, on
22 page 10, down near the bottom of the presentation.
23 It says during 2006 CHP system owners nonrenewable
24 fuel O&M costs exceeded electric bill savings,
25 except for fuel cells.

1 And then the other one that no CHP
2 systems became operational under the .07 pound NOx
3 per megawatt hour requirement.

4 Are these indeed correct? Would any of
5 the participants in the audience care to address
6 either of these observations?

7 I won't be offended if you don't. Mr.
8 Wong?

9 MR. WONG: Eric Wong with Cummins Power
10 Generation, and also the chair of the California
11 Distributed Generation Coalition, which is
12 comprised of manufacturers and developers and
13 consultants.

14 I want to address actually the three,
15 the bottom three of those, which includes yours,
16 Commissioner Byron.

17 I think on the second bullet it says
18 that again using nonrenewable fuels that fuel
19 cells and gas turbine systems reach the 60
20 percent, but not ICE, internal combustion engines
21 and microturbine generators did not.

22 I think you're talking about digester
23 gas, right? But we need a little more data on
24 that; we can interchange -- I'm certainly happy to
25 take information back to member of the -- which

1 includes Capstone Microturbine, and we have the
2 various engine manufacturers. But we need a
3 little more detail on that.

4 DR. SOINSKI: Okay, my reference for
5 this, and perhaps I should have -- actually I
6 forgot to prepare my resource slide. I'll have to
7 do that for you.

8 This was an ITRON report that was done.
9 I think it was called the Seventh Year Report.
10 Which looked at 2006. And they, you know,
11 compiled the data that they had. And it's an
12 incomplete dataset. which is a problem.

13 And this was actually their observation.
14 Okay.

15 MR. WONG: Okay, that's helpful.

16 DR. SOINSKI: So that's the source. And
17 it's available, you know, if you just Google SGIP
18 and go to the --

19 MR. WONG: Right, right.

20 DR. SOINSKI: Yeah.

21 MR. WONG: I have that report.

22 DR. SOINSKI: Sure, right. I'm sure you
23 do.

24 MR. WONG: My other comment, in terms of
25 the spirit of your request that, you know, we need

1 to have a, you know, better program, improve the
2 program, you may be looking at a situation because
3 you're dealing, if it is digester gas, with a fuel
4 that needs to be cleaned up ahead of time.

5 And that presents certain challenges
6 because it's different technologies. So for
7 nonrenewable fuels, you may have to devise a
8 different program, as opposed to, say, natural
9 gas. Or methane. Well, methane usually goes into
10 landfill gas type operations.

11 So, anyway, that's just something to
12 think about. It's not a strong proposal on my
13 part right now, but this begs that question.

14 DR. SOINSKI: Yeah.

15 MR. WONG: Because you're dealing with
16 different types of fuels.

17 The second -- I'm sorry, the third
18 bullet there, I can't answer that. That one's
19 very intriguing to me. That literally wipes out,
20 or puts you into a negative, is what you're
21 telling me, Commissioner Byron. And --

22 DR. SOINSKI: That's correct.

23 MR. WONG: Is that from the ITRON
24 report, also?

25 DR. SOINSKI: No. This is from the AB-

1 2778 report. It was a run done by TIAX --

2 MR. WONG: Yes, okay.

3 DR. SOINSKI: -- for the Energy
4 Commission.

5 MR. WONG: Okay. We'll definitely try
6 and get some written comments on that.

7 DR. SOINSKI: Because they did a --
8 well, they sort of looked at the participants,
9 societal amount of participant tests. Although
10 they didn't, the only one they really did to any
11 degree was the participant -- so-called
12 participant, which is the owner, I believe.

13 That, yeah, this was the case. And they
14 actually included in the cost of the generation,
15 but they didn't seem to, you know, the capital
16 costs minus the SGIP payment. But they did not
17 seem to amortize the capital costs.

18 And so they came up with even more
19 negative numbers than if you just look at the
20 annual, you know, operational cost.

21 But if I did it correctly, I think I did
22 just take in the fuel costs, the O&M costs and
23 compared that to what they calculate as the
24 electric bill savings.

25 And it depends on whether you're -- on

1 how you allocate electric thermal and chiller,
2 both heating and cooling, what your electric bill
3 saving is. Because they made certain assumptions
4 about the other, you know, the nonCHP system. And
5 what the efficiencies would be, and what the cost
6 of electricity would be to provide those services
7 with the alternative, you know, the electric grid
8 plus the electric-driven chiller.

9 But I don't think I've biased these
10 reports. Now there's the whole question of the
11 methodology of the report, which I'm not going to
12 go into.

13 But I'm actually trying to provoke
14 comments and interest and specifics so that going
15 forward we can do things better than we have in
16 the past. I mean that's really one of my
17 objectives. Okay.

18 MR. WONG: My comment perspective, I
19 would say, on the last bullet, no CHP systems
20 became operational under the .07 pounds NOx
21 requirement. I guess I would take that a little
22 bit differently in looking at the -- that's for
23 2006, right? And the requirement, that
24 requirement became effective 2007, January 1st?

25 DR. SOINSKI: 2007, right. What was the

1 year?

2 (Parties speaking simultaneously.)

3 MR. WONG: Is it January 1 or January
4 31st? Well, let's assume it's January 1, 2007.

5 DR. SOINSKI: I think -- okay, so I
6 think the point here is during 2006 the CHP
7 systems that came under operation came under the
8 .14 pounds --

9 MR. WONG: Right, because --

10 DR. SOINSKI: -- NOx.

11 MR. WONG: -- that was effective. That
12 limit was the effective limit.

13 DR. SOINSKI: At the time they applied,
14 so even though they became operational in 2006,
15 they came under the older --

16 MR. WONG: Right.

17 DR. SOINSKI: -- the more lenient NOx
18 requirement.

19 MR. WONG: Okay, so my perspective is
20 that the .07 deals with the period post December
21 31, 2006, and those that are in the queue in terms
22 of receiving SGIP money, right?

23 DR. SOINSKI: Correct.

24 MR. WONG: So this -- you're not making
25 the comment that post January 1, 2007, no CHP

1 systems became operational. Because a database
2 doesn't exist for that. Or are you?

3 DR. SOINSKI: The database does not
4 exist.

5 MR. WONG: Okay, so am I correct then --

6 DR. SOINSKI: Actually perhaps then
7 explain this to the extent -- what my intent was
8 here, is the question of will .07 pounds per
9 megawatt hour standard limit the introduction of
10 certain prime mover technologies in CHP systems,
11 or will it be a significant restriction on CHP in
12 general, regardless of what the prime mover is.

13 MR. WONG: My general response to you,
14 and I'm going to get into more detail in the
15 afternoon, because I think that may give us a
16 better opportunity for interaction amongst the
17 different people here, is that it would be no. It
18 would not become an obstacle.

19 Thank you.

20 DR. SOINSKI: Historical perspective,
21 when I was in the PIER program one of the things
22 we had to deal with quite extensively was internal
23 combustion engines. And getting them clean enough
24 to meet South Coast requirements. And the
25 difficulties that they have, especially in the

1 South Coast.

2 PRESIDING MEMBER BYRON: Mr. Colvin.

3 MR. COLVIN: Yeah. This is, again,
4 Michael Colvin, for the benefit of everyone on the
5 phone.

6 Not so much a direct answer to your
7 question, but just I guess a point of
8 clarification, since we are talking about the SGIP
9 program, which I'm familiar with, not certainly an
10 expert on.

11 But I think two points are worth noting
12 especially with respect to those bottom two bullet
13 points that you were mentioning.

14 The first is that SGIP is really just an
15 upfront incentive payment. And it is not
16 designed, nor does it actually reward performance.
17 Very similar, again, to how the solar initiative
18 once worked, where we funded solar through the
19 SGIP program, and now through the California Solar
20 Initiative, we had both expected performance and
21 performance-based incentives.

22 And I think the hope from what we
23 developed through this feed-in tariff is that you
24 get paid on a per-megawatt hour basis. And
25 performance will help that, and market factors

1 will help drive optimization of proper
2 facilities. And so I think it's worth just
3 kind of mentioning that.

4 The second thing that's worth mentioning
5 that speaks, I think, a little bit more to the NOx
6 point, the way that the SGIP program was first set
7 up, and the way that it currently exists now is
8 that there is a size capacity that there is -- you
9 receive one incentive level payment for the first
10 megawatt; for megawatts one to two you get a
11 second payment. And from megawatts two to three
12 you get yet the third payment. And your facility
13 can be sized up to five, but you only get upfront
14 payment for those first three megawatts.

15 And it could very well just be that
16 upfront costs for putting in something like
17 selective catalytic reduction, something of that
18 effect, that the economics just don't work out
19 with that particular pricing structure in that
20 particular way.

21 I'm purely speculating at this point,
22 but I just wanted to kind of mention that, that it
23 might speak a little bit to that question that you
24 had.

25 The last thing that was worth

1 mentioning, going back to the ITRON report, which
2 is out there, one of the conclusions that it had
3 for some of these smaller systems was that the way
4 that the systems were set up is that they were,
5 again, not designed to optimize really a thermal
6 to electric ratio in the way that we're trying to
7 do now with hopefully these new technical
8 guidelines.

9 So, as we're looking to SGIP for kind of
10 lessons learned, I think one of the lessons
11 learned is we need to make certain that we are
12 optimizing thermal and electric correctly.

13 One of the things that came out of that
14 ITRON report, especially for the smaller
15 technologies, is that if they were sited more
16 efficiently there would be greater greenhouse gas
17 reductions than were currently existing.

18 So I just wanted to, again, make certain
19 of those clear to everyone in the room who may or
20 may not be as familiar with SGIP. So.

21 PRESIDING MEMBER BYRON: Thank you.
22 And, Mr. Davidson, if it's all right, I'm going to
23 suggest, because I opened up this discussion, and
24 I know Ms. Kelly's probably concerned that we get
25 back on schedule.

1 There will be ample opportunity in the
2 afternoon, and I welcome all your participation.
3 I was very curious about those two particular
4 observations.

5 And forgive me, Dr. Soinski. I knew
6 that, and here I've been making this mistake all
7 morning.

8 DR. SOINSKI: Oh, that's quite all
9 right. I don't use the title Doctor.

10 PRESIDING MEMBER BYRON: If you would
11 continue with your presentation, and try and keep
12 us on schedule. You have a lot of material to
13 cover here.

14 DR. SOINSKI: Steve, do we have anybody
15 on the --

16 MR. SPEAKER: No, we don't.

17 DR. SOINSKI: Okay, fine. Then let's
18 move on.

19 PRESIDING MEMBER BYRON: If there's
20 questions on the phone, please interrupt us during
21 the question-and-answer period to make sure we
22 don't forget.

23 DR. SOINSKI: Okay, starting out with
24 what I considered to be one of the more innocuous
25 staff proposals, which is on the net generating

1 capacity, which is the full load continuous rated
2 capacity of the generator at standard conditions,
3 as packaged and delivered, minus any ancillary
4 loads that are required to make the generator
5 operable. And that that should be no more than 20
6 megawatts. Does anybody have a comment on that?

7 Told you it was going to be an easy one.

8 This is the -- we've already discussed
9 this. This is the system efficiency -- well,
10 we've had some comments, perhaps -- really
11 discussed it. Sixty percent higher heating value
12 basis, 100 percent load as stipulated in the
13 legislation; standard conditions.

14 And the system efficiencies, the useful
15 energy output over the fuel input. Useful means
16 made available for use. And I'm frankly not sure
17 I know exactly what that means. Except it is in
18 both FERC regulations with respect to PURPA, and
19 it has been adopted by the ARB.

20 And then the useful energy output is the
21 net after the parasitic electric losses have been
22 subtracted, related to the definition of net
23 generating capacity. Plus the useful mechanical
24 output.

25 So, for example, you could drive a pump

1 with steam, or with, you know, directly off the
2 shaft of a prime mover. Plus a useful chemical
3 output, which I put in for the fuel cell folks
4 just in case it might come by sometime where
5 they'd be producing a stream of hydrogen in
6 conjunction with this.

7 Plus the useful thermal output. This is
8 the gross thermal output minus the thermal input.
9 And this gets into -- well, it could lead
10 potentially, or it does lead into what do you
11 define as a system diagram, and the boundary
12 conditions, because it's really the heat coming
13 out, and then the heat contained in the return
14 water from the thermal user to the generating
15 systems.

16 And then the fuel input is the quantity
17 of heat -- quantity of fuel times its heating
18 value, or heated combustion. All done in common
19 units, using accepted conversion factors.

20 MR. LEIBOWITZ: What happens when
21 there's no fuel?

22 DR. SOINSKI: When there's no fuel?

23 PRESIDING MEMBER BYRON: Can you repeat
24 the question, please?

25 DR. SOINSKI: Okay. Hank Leibowitz

1 asked a question of what happens if there's no
2 fuel, so that the fuel input is zero. I don't
3 know, if you want to say mathematically -- you're
4 talking about bottoming cycles.

5 MR. LEIBOWITZ: Yeah.

6 DR. SOINSKI: Right. And this gets back
7 to that whole issue of the legislation and how we
8 address it.

9 I guess you could say it's infinite, and
10 since division by zero is undefined
11 mathematically, and in which case I think you
12 probably qualify. Is that an answer you'd like?

13 MR. LEIBOWITZ: Well, yeah, but --

14 PRESIDING MEMBER BYRON: Wait. It's
15 really important that we not try and have
16 conversation across the room, because it doesn't
17 get picked up by the court reporter or those on
18 the phone. So, Mr. Leibowitz, wear out your shoe
19 leather. We're glad to have you at the podium.

20 MR. LEIBOWITZ: Yeah, Hank Leibowitz,
21 again. If we take the legislation literally then
22 bottoming cycles are not acceptable because of
23 fuel input is zero and it makes all of the
24 parameters, I guess, meaningless.

25 This appears to me that this legislation

1 wasn't considering bottoming cycles. And with all
2 due respect to my colleague, Mr. Colvin here, it
3 seems to me CHP maybe wasn't entertaining waste
4 heat stand-alone systems.

5 DR. SOINSKI: So, where would you have
6 the situation --

7 MR. LEIBOWITZ: I mean I would like to
8 see these parameters reflect the fact that there
9 are CHP systems that don't require any fuel. And
10 in which case the efficiency, electrical
11 efficiency doesn't have to be anything.

12 DR. SOINSKI: Where is the energy coming
13 from?

14 MR. LEIBOWITZ: From a otherwise wasted
15 stream in a stack of a cement plant or glass
16 plant.

17 DR. SOINSKI: So, --

18 PRESIDING MEMBER BYRON: Dr. Soinski, I
19 think we can address this, and we have not
20 discussed this, so give us an opportunity to do
21 so. It may be a limitation of the legislation,
22 Mr. Leibowitz, but I can tell you that in this
23 particular case we're fortunate. The author of
24 this legislation does have a PhD in geophysics,
25 but maybe not thermodynamics. So we'll see if we

1 can take care of this without having to write new
2 legislation.

3 But I understand your concern, the
4 concerns of others. I'm hopeful it's an
5 accounting issue that we will be able to pick up.

6 MR. LEIBOWITZ: I hope so.

7 PRESIDING MEMBER BYRON: Dr. Soinski, do
8 you want to add anything, or do you want to
9 proceed?

10 DR. SOINSKI: I'll proceed, but I have
11 to think about this a little bit more. But there
12 is fuel input, and there is useful thermal output
13 in terms of cement manufacturing. So maybe this
14 equation can still be used. I'd have to -- I
15 really need to think about it a little bit more.
16 Okay.

17 Any other comments? Oh, yeah, that's
18 right, Galen wanted to address Barbara Barkovich's
19 comment earlier.

20 MR. LEMEI: This is Galen Lemei with the
21 Energy Commission. I have the good fortune or
22 misfortune of being an attorney, working on this
23 project.

24 And I'm understanding and beginning to
25 get a better sense of the potential limits of the

1 legislation in addressing the bottom cycling
2 issue.

3 I'll be the first to admit that I have
4 no degree in thermodynamics. But I just wanted to
5 specifically ask the parties and especially Dr. --

6 MR. LEIBOWITZ: Hank is fine.

7 MR. LEMEI: Or Hank. Especially Hank
8 and Barbara, and anyone else, that to the extent
9 that you have input as to how the existing
10 legislation could be interpreted by us in a manner
11 that accommodates your needs, that's something
12 that is specifically useful and helpful to us.

13 Obviously, as a state agency, we're
14 limited by the language that we're given to work
15 with. But we're very interested in working with
16 the language in a way that accomplishes the most
17 good possible. And clearly there's great
18 potential in bottom cycling CHP.

19 So I just wanted to make -- put that
20 specific request on the record. Thank you.

21 DR. SOINSKI: No comments on the phone?
22 Any other comments here? Okay.

23 Next. Ways to utilization, and there
24 are two aspects of this. One is going back to
25 historical records, PURPA requirements and the

1 SGIP program requirements in terms of waste heat
2 utilization.

3 And those requirements are that at least
4 5 percent of the facility's total energy output
5 shall be in the form of useful thermal energy.
6 This is a requirement -- both the first two go
7 back, I believe, on the order of 30 years.

8 And the other is that the useful annual
9 power output -- ah, there's that nasty word power
10 instead of electric -- shall plus one-half of the
11 useful annual energy output equals not less than
12 42.5 percent for natural gas. And here they use
13 lower heating value basis, rather than higher
14 heating value.

15 And typically the 5 percent under the
16 SGIP requirement was easy to meet. The 42.5
17 percent requirement was not met by -- should
18 remember this, I don't -- actually I don't have
19 that in my notes. But then the real thing is how
20 do you prevent de facto wholesale generation. And
21 it relates to sizing to meet the thermal demand.

22 And I've toyed with this. I say shall
23 be no smaller than the minimum connected onsite
24 thermal load. And no larger than the maximum
25 connected onsite thermal load.

1 I've been troubled, and Galen actually
2 has been troubled by this minimum connected onsite
3 thermal load requirement. And I don't know
4 whether it's something that really needs to be
5 here, or whether this requirement needs to be here
6 at all.

7 And I'd be interested to find, to get
8 the perspective on how we meet the legislation's
9 requirement of preventing de facto wholesale
10 generation. Maybe the electric utilities would
11 have a comment on that point.

12 Or is this a serious issue? I mean this
13 has not been a problem certainly over most of the
14 -- within the context of the SGIP program, these
15 requirements have not been.

16 Comments on that? Oh, let's get PG&E.

17 MR. WILLIAMS: Good morning; this is Ray
18 Williams from PG&E. Thank you, Dr. Soinski, first
19 for getting your presentation out ahead of time.
20 I think it's certainly helped with the discussion
21 today.

22 In terms of connected load, I wasn't
23 aware that -- I don't really know what the
24 definition of a maximum connected load or minimum
25 connected load would be. It just would seem like

1 there would be one per site.

2 But in terms of the sizing question, we
3 will get into this more in our comments. We view
4 a facility, itself, should, at a minimum, before
5 looking at what is the most efficient setup for a
6 CHP system, should undergo an energy efficiency
7 audit. In other words, sort of a mini loading
8 order concept on a particular site.

9 And that audit be really around its
10 whole operations. PG&E does not have a -- at this
11 point have a proposal as to what to do with the
12 audit. But we certainly think that the sizing
13 question should be better informed by doing sort
14 of a whole facility audit first.

15 Thank you.

16 PRESIDING MEMBER BYRON: Mr. Williams,
17 while you're there, thank you for coming up to
18 help answer this. I think really ultimately the
19 question is why are we interested in trying to
20 prevent de facto wholesale generation. What's the
21 concern here? Is it some interest on the part of
22 the investor-owned utility?

23 MR. WILLIAMS: I would say, first off,
24 if you look at a utility portfolio, we, ourselves,
25 follow a loading order. And we do so now in large

1 part to help reduce greenhouse gas emissions.

2 So if you're looking at one of the
3 primary goals for this program is the reduction of
4 greenhouse gas emissions, it seems like the best
5 first opportunity would be to look at the
6 efficiency of the operations onsite, the same way
7 that the utilities look at the efficiency and the
8 emissions intensity of its overall portfolio.

9 So, in terms of power injected onto the
10 grid, I think we would have the same concerns that
11 we would have with any power injected onto our
12 grid as part of our portfolio. Is it priced
13 properly for the product that we're giving? Does
14 it help reduce greenhouse gas emissions or not
15 with respect to our own portfolio? And does it
16 support a reliable operation of the grid and of
17 our own portfolio?

18 PRESIDING MEMBER BYRON: Well, with a 60
19 percent efficiency requirement on higher heating
20 value I doubt that even on PG&E's system that you
21 have, overall natural gas system efficiency in
22 excess of 60 percent.

23 MR. WILLIAMS: So, I don't know the
24 answer to that question. When I saw the
25 efficiency I was scrambling with a little table to

1 try to convert that into heat rate. And look at
2 that relative to a new combined cycle plant. And
3 also to the 1100 pounds.

4 So I hope to have maybe a better answer
5 for you on that question this afternoon.

6 PRESIDING MEMBER BYRON: Good, thank
7 you. We'll come back to it then. Thanks for
8 coming up.

9 Unless these are key questions we need
10 to address right now, I'm going to ask if we'll
11 let Mr. Soinski continue so that we can all get a
12 lunch break. And we'll come back to more
13 discussion. So, please, keep track of these
14 issues that you want to bring up.

15 Dr. Soinski, let's proceed.

16 DR. SOINSKI: Okay.

17 PRESIDING MEMBER BYRON: And if you keep
18 asking questions you're going to get answers. So
19 you might want to think about that, and get
20 through your presentation.

21 DR. SOINSKI: Can I -- I'm sorry.

22 PRESIDING MEMBER BYRON: Go right ahead.

23 DR. SOINSKI: Environment -- I'm sorry?

24 MS. KELLY: Just need clarification so
25 that we can have questions --

1 DR. SOINSKI: Oh, okay. Linda Kelly has
2 made, I think, a very productive comment. If you
3 want to know where I'm coming from perhaps I
4 should address that or attempt to address that as
5 best I can now.

6 And then if you would like to see
7 something different then this afternoon's session
8 might be a more appropriate time to do that.
9 Okay.

10 Environmentally beneficial with respect
11 to CO2 emissions. This is in the legislation.
12 And here what I said is, well, you basically do
13 the CHP system versus the alternative. And the
14 method I proposed to be used is that that's in
15 this TIAX report. And here I have provided the
16 references report which I have mentioned before.
17 This is the AB-2778 requirement.

18 The big issue, and this is controversial
19 at the CPUC in many different proceedings, and
20 will probably remain controversial for a long
21 time, is what does the electric generation system
22 look like. What does the natural gas -- or what
23 does the boiler look like for heating. And then
24 what is, if you have combined heating and cooling,
25 what does the cooling alternative look like that

1 you're making the comparison to.

2 And these are the numbers that I've come
3 up with in terms of what needs to be beaten. And
4 then I've taken the -- I've come up with an
5 arbitrary number of 5 percent lower than the CHP
6 system, or 5 percent better than the CHP system
7 has to beat than what the alternative is. But
8 then I think the devil is in the details of what
9 the alternatives are that you're comparing the CHP
10 system to.

11 I've struggled with this, as many other
12 people have. Are there comments on this,
13 Commissioner? No.

14 Michael, you -- oh, I didn't know
15 whether you had a -- no comments.

16 PRESIDING MEMBER BYRON: I think we
17 could well come back to some of these issues, Dr.
18 Soinski later. I think we'd like to --

19 DR. SOINSKI: I would anticipate that
20 these could be controversial.

21 PRESIDING MEMBER BYRON: Sure.

22 DR. SOINSKI: I thought that -- I really
23 anticipated this would be.

24 PRESIDING MEMBER BYRON: And I think we
25 will get a chance to come back to them, Ms. Kelly,

1 if I'm correct, this afternoon.

2 MS. KELLY: Yes, we have questions, I
3 think, that go to all these issues.

4 PRESIDING MEMBER BYRON: Right, but --

5 MS. KELLY: And we can bring them up in
6 comments.

7 PRESIDING MEMBER BYRON: But I think it
8 would be good if you get --

9 MS. KELLY: Yeah.

10 PRESIDING MEMBER BYRON: -- through your
11 presentation now. And --

12 DR. SOINSKI: Okay.

13 PRESIDING MEMBER BYRON: -- let's go
14 ahead and come back to these issues and
15 discussion.

16 DR. SOINSKI: The issue of what
17 information you have to have. And one of the
18 points that perhaps needs to be reiterated is that
19 this is not just a tariff that people are going to
20 get. There's information that has to be provided.

21 This is the type of information that was
22 required under the SGIP in one form or the other.
23 Some of it would be information that would be
24 required under the AB-32 mandatory reporting
25 guidelines, which will be discussed some more.

1 So it's sort of information, the system
2 description and diagram. What are the boundaries
3 of the CHP system, you know, what goes in and what
4 goes out, can make a difference as to what's
5 included within the scope of supply and what is
6 not.

7 The annual forecasts by month;
8 documentation of compliance with the specific
9 requirements, which are the 20 megawatts, the .07
10 pounds per megawatt hour, et cetera. And then a
11 performance verification and compliance plan.

12 Then this is the breakdown now of that
13 previous slide as to what would be required from
14 the host site. And it's, you know, actually
15 pretty innocuous things of where it's located,
16 what the business type is, what kind of existing
17 generating and thermal systems are in use right
18 now.

19 And then the historical or forecast
20 electric and thermal loads by months for one year.
21 And if there's variation, if it's not a baseload
22 operation, then how that will vary by month, day
23 of week, time of day, et cetera, by season. So
24 what the anticipated fluctuations are in terms of
25 the forecast.

1 Any questions about that type of
2 information? Okay.

3 The system description. The prime
4 mover. Conventional information, the
5 manufacturer, the model, the nameplate, the
6 ancillary equipment, because those loads get
7 subtracted in getting to the 20 megawatt number.

8 An electrical one-line diagram. And
9 then a system diagram. And I give a reference to
10 a report that's on a website. These are protocols
11 that were developed by members of ASERTTI, the
12 Association of State Energy Research and
13 Technology Transfer Institutions.

14 And they're used most extensively now by
15 NYSERDSA, the New York State Energy Research and
16 Development Administration, on their programs
17 where they fund demonstrations. They've got
18 approximately 100 sites under operation. And I'm
19 getting an estimate of how much this would cost to
20 do this monitoring. And it's on the order of \$15-
21 to \$25,000 for three years of monitoring. So
22 there are some cost implications in terms of doing
23 the monitoring if that were required.

24 And then the annual, the forecast. This
25 is breaking down the useful energy output really

1 in more detail. So it's that calculation that
2 gets you the useful energy out, divided by the
3 fuel in. And it's done monthly. This is what was
4 done by the SGIP program.

5 And I'm choosing the month because that
6 doesn't, to my knowledge there was not a great
7 concern about having to report on that time basis,
8 as opposed to breaking it down more extensively.

9 And then the documentation of
10 compliance, development of a template that would
11 actually go through these calculations step by
12 step. If you're curious what these types of
13 calculations might look like, they're in the SGIP
14 program. Or with respect to greenhouse gas
15 compliance, there are guidelines -- I forget
16 exactly what they're called, the clarification of
17 the mandatory reporting requirements under AB-32
18 by the Air Resources Board.

19 Performance verification and compliance
20 plan. One of the historical things that I brought
21 with me from PIER is requiring on any project that
22 had a demonstration aspect associated with, is
23 some type of test plan. This is the same type of
24 thing, except it's a verification and compliance
25 plan.

1 It's just really -- this could
2 potentially be a couple pages long if you're
3 wondering what the requirement is on this. That
4 basically just says that this is the expectation
5 of, you know, how we're going to determine how the
6 CHP system owner is going to determine whether or
7 not the system meets these requirements.

8 And one of the things the legislation
9 specifically says is a reference to warranties and
10 service agreements that would insure that the
11 system does meet these requirements over time.
12 You know, the manufacturer of the equipment
13 guarantees that they will do this.

14 So it could be really just the submittal
15 of the warranties that come with the prime mover
16 as to meeting these requirements.

17 Going much faster. And then compliance,
18 corrections for compliance. And one of the things
19 is if there is a compliance element involved in
20 this, who does it. Who determines whether you do
21 it or not.

22 One alternative is certainly self-
23 certification, where perhaps in terms of the
24 tariff where on an annual basis the applicant
25 would say that, yes, they continue to comply with

1 the requirements. And submit that to the electric
2 utility.

3 The Air Resources Board, which already
4 has greenhouse gas reporting requirements. The
5 utility, as the buyer of the electricity. Under
6 the SGIP the utilities, as buyers, or as -- well,
7 not buyers of electricity, but as administrators
8 of a buydown program, have looked at how well
9 systems have performed.

10 The Energy Commission could potentially
11 do that. There's a group at the Energy Commission
12 that routinely does audits, and could potentially
13 even accommodate Ray Williams' comment about
14 following the mini loading order in terms of
15 efficiency. Or it could be an independent third-
16 party consultant.

17 And I really don't have a strong feeling
18 on any of these one way or the other. I would
19 probably say I'm almost pretty much tied between
20 the Energy Commission doing it, or it being a
21 self-certification system.

22 And then what happens if you don't
23 comply. Well, if you're small, this relates to
24 Michael's point about do you have different rules
25 for different sizes.

1 If you're less than 1 megawatt, you've
2 got three years to comply. If you're larger than
3 a megawatt you've got a year to comply. And if
4 you fail, then you get a reduction in the amount
5 of payments you get, depending on exactly the same
6 as the percentage with which you fail to achieve
7 one of the requirements.

8 And if you fail to achieve multiple
9 requirements like let's say the NOx and the
10 efficiency, then you get dinged on your payment
11 for subsequent ways.

12 So, this is something that actually came
13 out of a project I did with PG&E's research and
14 development program, called PV USA. Where there
15 was a premium if you delivered more energy from a
16 photovoltaic system. And if you fell below it,
17 you got less. So it was a percentage as pay for
18 performance.

19 So that, I believe, is the last of my
20 proposals. And the last ones went very quickly.
21 So, there's --

22 PRESIDING MEMBER BYRON: Good. Dr.
23 Soinski, there's a lot of material in here, and I
24 hope --

25 DR. SOINSKI: Yes.

1 PRESIDING MEMBER BYRON: -- that there
2 will be some discussion around it. The one thing
3 that I thought you might be missing from required
4 information are safety issues. Rule 21 compliance
5 on interconnection, for instance. Had you thought
6 about that?

7 DR. SOINSKI: Well, it's covered in the
8 fact that there has to be an interconnection
9 agreement.

10 PRESIDING MEMBER BYRON: So that would
11 be taken up there.

12 DR. SOINSKI: So that would be
13 automatically included.

14 PRESIDING MEMBER BYRON: Likewise,
15 criteria pollutants, ARB would be responsible --

16 DR. SOINSKI: Or a local air district
17 would be. So, right, I haven't addressed CO or
18 any others, right, because if you don't have --
19 well, if you don't have a building permit and if
20 you don't have an air quality operating permit, I
21 mean you can't operate. So you can't sell.

22 So I'm assuming that those are
23 automatically included effectively by -- you know,
24 in order to remain in operation. And so that they
25 don't have to be here. Because I didn't want to

1 put anything here that was not really necessary,
2 to my mind.

3 PRESIDING MEMBER BYRON: Okay.

4 DR. SOINSKI: So that's my perspective
5 on that, on treating that --

6 PRESIDING MEMBER BYRON: Very good.
7 Unless there's any other clarifying questions, I
8 think we'll go ahead and take up the specifics of
9 the proposal later on in the discussion.

10 Seeing none, Dr. Soinski, --

11 (Laughter.)

12 MS. KELLY: Okay, next, we're going to
13 hear from ARB. We're going to have two
14 presentations then. And actually I'm passing
15 around some of those presentations. If you didn't
16 get one, there's some more at the back. And
17 there'll be two people presenting.

18 The first person will be Gary Collord;
19 and he'll be talking about AB-32. And then
20 following him we're going to have Doug Thompson,
21 who is going to talk about the reporting
22 requirements for greenhouse gas in California.

23 So, Gary. Let's see now, I think I've
24 got this down.

25 PRESIDING MEMBER BYRON: Mr. Collord,

1 welcome back to the Energy Commission. We miss
2 you here. But I hope the ARB is benefitting from
3 your skills and expertise.

4 MR. COLLORD: Thank you, Commissioner
5 Byron, and everyone. Good afternoon. I'm Gary
6 Collord with the energy section at the Air
7 Resources Board.

8 And I'm going to be fairly brief today,
9 since it's getting late. And I'm going to present
10 a brief overview of the AB-32 scoping plan measure
11 dealing with combined heat and power systems.

12 And I probably should note that my
13 presentation will address issues beyond the scope
14 of AB-1613.

15 So this first slide shows the scoping
16 plan, CHP goal, which calls for achieving 6.7
17 million metric tons of annual greenhouse gas
18 reductions by the year 2020. And this reduction
19 was based on an assumption for increasing or
20 expanding the state's existing CHP capacity by an
21 additional 4000 megawatts by the year 2020. And
22 so it's a fairly aggressive goal, and we have a
23 short timeline in which to realize it.

24 This slide shows the percentage of
25 greenhouse gas reductions for the proposed CHP

1 measure relative to some of the other electricity
2 sector reduction measures.

3 The California Solar Initiative programs
4 comprise about 5 percent of the total. CHP
5 systems about 15 percent. The proposed energy
6 efficiency standards 34 percent. And the balance
7 will be met by the 33 percent RPS, making up 46
8 percent.

9 PRESIDING MEMBER BYRON: Thank you
10 that's really helpful to see that graphic. And I
11 want to make sure I'm interpreting that correctly.
12 I mean we expect three times the GHG reduction
13 from this CHP sector than we will get from the
14 million solar roof initiative?

15 MR. COLLORD: That's correct.

16 PRESIDING MEMBER BYRON: And we will
17 expect to see fully about one-third as much
18 emissions coming from this sector as we do from
19 the entire state's RPS standard. I assume that's
20 the 33 percent RPS.

21 MR. COLLORD: That's correct, yes.

22 PRESIDING MEMBER BYRON: Thank you.

23 MR. COLLORD: In developing the CHP
24 measure, ARB worked closely with the staff of the
25 Public Utilities Commission and the Energy

1 Commission, and we continue to work closely with
2 them.

3 ARB also hosted a couple of working
4 groups. And we received a great deal of feedback
5 from the participants in those working groups.

6 As I'm sure most of you know the measure
7 in the scoping plan relies heavily on the PUC and
8 the Energy Commission as the lead agencies for
9 implementing the scoping plan measure.

10 And it relies largely on implementation
11 of the 2007 IEPR recommendations for removing
12 barriers to CHP and providing additional
13 incentives or mandatory programs to insure that
14 the goal is met.

15 And we found that the feedback we
16 received from the working groups we hosted were
17 very similar to the recommendations from the 2007
18 IEPR. And so we're hoping that the actions the
19 PUC and Energy Commission plan to take will be
20 reflected in the 2009 IEPR with respect to
21 achieving this CHP goal.

22 And, finally, the Air Resources Board is
23 available to provide any necessary support to the
24 Energy Commission or PUC in order to achieve their
25 reductions.

1 Some of the other issues that have come
2 to light since we drafted the measure include the
3 participation and role of the publicly owned
4 utilities in helping to achieve the CHP goal. And
5 so we need to be thinking about, you know, how do
6 we insure their participation. What their role
7 should be, since there's quite a varied range of
8 sizes and capacities of publicly owned utilities.
9 You know, should they all have a role, or should
10 we just try to encourage participation by the
11 larger entities. So that's an issue that needs
12 further discussion.

13 It's also come to light that there is
14 quite an extensive amount of existing CHP capacity
15 that perhaps is at risk of being lost due to
16 changing contract provisions under PURPA. And so
17 that's also another issue that we need to be
18 thinking about and try to address.

19 And then finally, this sort of goes back
20 to the issue we've heard for bottoming cycles and
21 making use of waste fuels or waste streams.
22 There's an issue of considering how do we
23 encourage and facilitate CHP systems that can
24 realize greenhouse gas reductions, even if they
25 don't meet some of the proposed standards, such as

1 the 60 percent efficiency threshold under AB-1613.

2 Maybe that's not the appropriate
3 proceeding in which to deal with it, but it's
4 something that needs to be addressed somewhere
5 along the line to insure that we can attain
6 greenhouse gas reductions wherever possible.

7 And finally, just with quick reference
8 to the proposed cap-and-trade program, ARB really
9 hasn't decided exactly yet how it will treat CHP
10 under that system.

11 But the joint recommendation from the
12 Public Utilities Commission and the Energy
13 Commission to ARB was to kind of include the
14 electricity generation from CHP in the cap-and-
15 trade program. And to use the same size threshold
16 applied to other electricity sector deliverers for
17 electricity generated onsite or exported to the
18 grid.

19 And I understand that proposed threshold
20 is about 25,000 metric tons currently, which I
21 think breaks down to about 10 megawatts in
22 capacity.

23 And then finally the joint decision
24 recommends that emissions from thermal output --

25 PRESIDING MEMBER BYRON: Excuse me, Mr.

1 Collord, --

2 MR. COLLORD: Yes.

3 PRESIDING MEMBER BYRON: -- just a -- I
4 haven't done this math, either, on the threshold.
5 But that would be 25,000 tons?

6 MR. COLLORD: Metric tons, right.

7 PRESIDING MEMBER BYRON: That's per
8 year, correct?

9 MR. COLLORD: Correct. Yeah.

10 PRESIDING MEMBER BYRON: All right.
11 Yeah, I will do that math, myself. I think it's a
12 much smaller threshold than 10 megawatts, but I
13 could be wrong. Please continue.

14 MR. COLLORD: Yeah, I'm not exactly
15 certain about that, either.

16 And then finally, emissions from thermal
17 output, it was recommended that they be treated
18 under the commercial or industrial sectors for the
19 cap-and-trade program, if at all.

20 And so that's the extent of my
21 presentation unless there are any questions. I'll
22 try to answer them.

23 PRESIDING MEMBER BYRON: Good. I'm glad
24 you're here. We probably should have started with
25 your presentation, because I think really the

1 theme of it is the ARB is interested in finding
2 greenhouse gas reduction wherever you can.

3 And that really should be the theme of
4 our workshop here. That's what we're trying to
5 accomplish, as well -- sector could be responsible
6 for as much as 15 percent. When I say the sector,
7 the combined heat and power subsector of the
8 electric power sector could be responsible for as
9 much as 15 percent of that reduction. That's what
10 you're looking for.

11 MR. COLLORD: Right. And it very well
12 may be that there is some flexibility under AB-
13 1613 where some of these other issues could be
14 addressed, as well, perhaps for, you know, a lower
15 incentive as the one that's being proposed.

16 PRESIDING MEMBER BYRON: Okay. Thank
17 you. I think we have a question for you. Please
18 come forward and identify yourself, please.

19 MR. SZAGNER: Hello, I'm Joseph Szagner,
20 Executive Director of Sustainability and Energy
21 Management at Stanford University.

22 A clarifying question on your, I think
23 it's your second slide. Can you let us know, in
24 reducing -- the goal to reduce 6.7 million tons
25 per year, with 4000 megawatts of CHP generation,

1 might you have a figure to tell us what that
2 equates to in terms of plant efficiency or heat
3 rate or pounds per megawatt hour?

4 If you, say, hold the thermal part of
5 CHP at say 85 percent generation, then what would
6 the CHP have to be in terms of efficiency or heat
7 rate or pounds of carbon per megawatt hour to
8 achieve this? Do you have those figures, by
9 chance?

10 MR. COLLORD: I don't think I could tell
11 you those numbers offhand. And I'm not sure how
12 helpful this will be to you, but, you know, the
13 reduction goal was based on looking at the
14 efficiencies of simple cycle gas turbines and
15 combined cycle gas turbines in calculating the
16 potential reductions; and translating that into a
17 capacity.

18 MR. SZAGNER: Okay, thanks.

19 PRESIDING MEMBER BYRON: Did you have a
20 point around that, Mr. Szagner? Do you think it's
21 perhaps not achievable?

22 MR. SZAGNER: No. Without knowing the
23 figure I just don't know how to equate, because it
24 would greatly go to the influence of what the
25 threshold, the 60 percent or whatever standard it

1 might be, for CHP under these proceedings. It
2 might inform that.

3 If to achieve that 6.7 million tons we
4 find out we only need combined heat and power say
5 of 52 percent efficiency, if you have 85 percent
6 as your thermal side, that tells you one thing, if
7 you need 74 percent efficiency.

8 So it just helps us zero in on what the
9 combined efficiency of CHP might have to be to
10 achieve these greenhouse gas reductions by say
11 fixing one of the variables, the thermal component
12 say, at 85 percent, since that's fairly -- a lot
13 easier than fixing the generation side, since
14 there's so much other kinds of generation.

15 PRESIDING MEMBER BYRON: That's a good
16 question. I'm certainly going to ask our staff to
17 work with ARB and see if we can look at those
18 kinds of analysis. I mean we're certainly
19 interested in not just the thresholds, but,
20 indeed, what kind of penetration we need, and how
21 achievable these goals are.

22 MR. SZAGNER: Okay, great. Thanks.

23 PRESIDING MEMBER BYRON: Thank you.

24 Thanks for being here.

25 So, Ms. Burgdorf, do you have a

1 question?

2 MS. BURGDORF: I have a comment.

3 PRESIDING MEMBER BYRON: Please come
4 forward.

5 MS. BURGDORF: Good morning; I guess
6 it's good afternoon now. Commissioner Byron, --

7 PRESIDING MEMBER BYRON: You'll need to
8 identify yourself, please.

9 MS. BURGDORF: Marci Burgdorf, Southern
10 California Edison. I just wanted to comment on
11 the last gentleman. We've actually tried to back
12 into the calculation of 4000 megawatts, and the
13 6.7 million metric tons.

14 And from what we've looked at it's
15 anywhere between you're looking at efficiencies
16 between 70 to 78 percent in order to achieve that
17 reduction.

18 So in terms of talking about
19 efficiencies moving forward, and around this AB-
20 1613 development, we're going to need something a
21 lot more than 60 percent to be able to achieve the
22 6.7 million metric tons.

23 Thank you.

24 PRESIDING MEMBER BYRON: Thank you. So,
25 Dr. Soinski, I'm counting on you to do a similar

1 analysis.

2 DR. SOINSKI: I'll just ask him to send
3 me the data.

4 (Laughter.)

5 PRESIDING MEMBER BYRON: Please go
6 ahead.

7 MS. KAHL: Hi, I'm Evelyn Kahl here for
8 the Energy Producers and Users Coalition. And I
9 guess my question to you, Gary, is ARB focused as
10 much on the 4000 megawatts, or is it really
11 focused on 6.7 million metric tons?

12 MR. COLLORD: It's really the 6.7
13 million metric tons. And I guess it depends on,
14 you know, how efficient the systems are that
15 ultimately are developed. You know, it may
16 require less than 4000 megawatts, it may require
17 more.

18 It was just the 4000 was kind of a
19 benchmark that we used for setting the goal.

20 PRESIDING MEMBER BYRON: Good. I think
21 we have a second presentation?

22 MS. KELLY: Yes. Yes.

23 PRESIDING MEMBER BYRON: Thank you, Mr.
24 Collord.

25 MS. KELLY: Thanks, Gary. The second

1 presentation is by Doug Thompson; he's from ARB.
2 And he's going to talk to us about -- sorry, I
3 can't do --

4 (Pause.)

5 MS. KELLY: He's going to talk to us
6 about the reporting requirements. These are
7 reporting requirements that Art has included in
8 his guidelines. And we thought it was better, you
9 know, Art could try to answer questions on these,
10 or are there any problems with these guidelines.

11 And so Doug agreed to come and present a
12 short presentation on these guidelines, the
13 reporting requirements. And then if you have any
14 questions you can ask Doug directly.

15 (Pause.)

16 MR. THOMPSON: Okay, well, thank you,
17 Commissioner Byron and Linda, staff, for having us
18 over to talk about the mandatory reporting rule.
19 I'm not going to spend a lot of time, but your
20 staff did ask us to come and basically give you
21 some of the background, the basic requirements, to
22 cover in brief the costs. And mention third-party
23 verification.

24 So, we're going to do that. We've got a
25 couple slides, also, on cogeneration in

1 particular.

2 So, the regulation was approved actually
3 16 months ago now by our Board, December 2007.
4 And it's now effective. The first reports under
5 the regulation -- here we go -- the first reports
6 under the regulation are due June 9th -- pardon
7 me, June 1st of 2009.

8 And the initial reports can rely on best
9 available data for 2008. There are specified
10 requirements that cover calculation in the
11 regulation. And those need to be met with reports
12 beginning next year. And hopefully, as much as
13 possible, this year.

14 The reporting will be accomplished
15 through use of an online reporting tool that ARB
16 has available via the website there.

17 The regulation covers a number of
18 sectors, oil refiners and hydrogen plants, cement
19 plants. AB-32 was explicit in covering the
20 largest sectors first. So we gave a lot of
21 consideration to what the major sources were in
22 California. That would include stationary
23 combustion sources of any type that are above
24 25,000 metric tons of CO2.

25 We went quite a bit smaller for

1 electricity generation and cogeneration
2 facilities. We go down to 1 megawatt and 2500
3 metric tons of CO2. And the reasoning for that is
4 that AB-32 was pretty explicit in addressing all
5 of the emissions from electricity in California,
6 both generated within the state and imported. So
7 by going down to that threshold we were able,
8 essentially we capture about 99 percent of the
9 emissions from the power sector.

10 We also brought in electricity of retail
11 providers and marketers. They primarily report on
12 their imports, their purchases and sales. And up
13 to 800 reports will be expected over all. May be
14 somewhat less than that. We're finding a lot of
15 the facilities actually incorporate within them
16 some of the additional facilities, including
17 cogeneration.

18 The regulation requires Kyoto gases to
19 be reported, as specified, by sector. And it
20 specifies quantification methods. Most of those
21 methods were adapted, at least initially, from the
22 California Climate Action Registry protocols.
23 There are exceptions to that, particularly in the
24 oil and gas sector.

25 Up to 3 percent of emissions may be

1 estimated using simplified de minimis methods.

2 And that means that you still need to report those
3 emissions, but you can do that with simplified
4 methods of your choosing.

5 We also require all stationary
6 combustion emissions to be reported. There are
7 process and fugitive emissions reported where
8 specified. And also in most sector, indirect
9 energy use is reported. Mobile emissions are
10 optional.

11 The regulation requires verification of
12 emissions reports by third-party verifiers
13 beginning in 2010. Verification is optional this
14 year.

15 ARB is undertaking a program to train
16 and accredit verifiers and verification bodies.
17 And that will begin likely within a couple of
18 months. Probably in June.

19 Both private firms, including those who
20 have already worked in this area under the
21 California Climate Action Registry and the
22 supervision of CEC. And air districts may receive
23 accreditation.

24 And reporters are able to choose their
25 verification bodies, but that is subject to

1 conflict of interest review by ARB.

2 And Art asked that we say something
3 about costs. We did an analysis of costs at the
4 time the regulation was proposed. The costs, of
5 course, vary quite a bit because the types of
6 facilities covered vary quite a bit.

7 But in general you're probably going to
8 see costs for reporting and verification that
9 start around \$5000; maybe as low as \$3000, and up
10 to \$25,000. But it can get larger for refineries;
11 some of the large electric utilities may have
12 larger costs. But quite a range of costs,
13 probably averaging about \$20,000.

14 We think the third-party verification,
15 though it does add costs, also adds value to the
16 program, particularly with the cap-and-trade,
17 that's going to be very important for the
18 credibility of those reports.

19 And we also think the reporting tool
20 will enable costs to be reduced in the coming
21 years, particularly as firms set up their
22 facilities and are able to return and only enter
23 emissions data in the following years.

24 So cogeneration facilities. As I
25 mentioned, are reporting when they reach that 1

1 megawatt threshold, and 2500 metric tons of CO2
2 from electricity generating activities.

3 That requires a distribution of CO2 from
4 fossil fuels. The regulation addresses CO2 from
5 fossil fuels, in particular, by requiring them to
6 be distributed. And it looks to methodologies
7 initially proposed by CCAR for topping cycle, and
8 expanded by ARB at the bottoming cycle method
9 known as the efficiency method.

10 And so both of those do assign some
11 emissions to electricity. It is a pretty
12 conservative assignment in the case of bottoming
13 cycle, but it is there. So the question comes up,
14 why distribute emissions. And that may not be
15 necessary if we had a source-based system for
16 electricity. But because California went down the
17 path, at least initially, of a load based
18 approach, we thought it was important to carry out
19 the example -- carry forward the example that CCAR
20 had set with the distribution of emissions.

21 PRESIDING MEMBER BYRON: Excuse me, Mr.
22 Thompson.

23 MR. THOMPSON: Yes.

24 PRESIDING MEMBER BYRON: I may have
25 missed it, what does CCAR stand for?

1 MR. THOMPSON: That's the California
2 Climate Action Registry.

3 PRESIDING MEMBER BYRON: Of course.
4 Thank you.

5 MR. THOMPSON: So, both PUC and CEC were
6 on a pretty firm path at the time the regulation
7 was under development for a load based point of
8 regulation for the electricity sector. And there
9 was a strong desire to know just what emissions
10 were due to being electricity demand. So, we
11 attempted to provide that.

12 We also didn't want to presuppose the
13 outcome of policy discussions, those that would
14 take place as the scoping plan was developed. PUC
15 and CEC proceedings such as this, the Western
16 Climate Initiative, and finally, the cap-and-trade
17 regulation, which is now under development, and
18 would be adopted over the course of the next year.

19 So the methodologies and the regulations
20 stick to pretty much a basic engineering approach.
21 We thought it would discourage initial gaming and
22 meet our inventory needs, serve a load based
23 system, and be consistent with the CCAR example.

24 We did that with the expectation,
25 however, that once policies were further

1 developed, those methodologies could be revisited.
2 And we expected that would occur certainly in the
3 area of waste heat usage consistent with the
4 scoping plan measure. And these proceedings,
5 waste heat usage has emerged as one of the key
6 strategies that may cause us to rethink some of
7 those methodologies.

8 And so the expectation is in the course
9 of developing the cap-and-trade rule over the
10 course of the next year and a half, that those
11 methodologies can be revisited, altered or
12 augmented as needed. Because the expectation
13 would be we have multiple goals to meet, and we
14 will go beyond the initial goals.

15 So next steps include completing the
16 first round of emissions reporting by June 1.
17 Data sharing and analysis, we're certainly quite
18 willing and expect to be sharing data with our
19 sister agencies. There will also be public access
20 to the emissions data through the reporting tool
21 website.

22 And we'll see what kinds of analytical
23 needs we have. And part of the challenge for ARB
24 is to anticipate all possible analytical needs,
25 and that may mean we need to retain certain

1 methodologies or requirements that may not
2 initially thought to be needed.

3 PRESIDING MEMBER BYRON: Did we lose
4 your microphone there? Do you still have your
5 green light on?

6 MR. THOMPSON: Still on.

7 PRESIDING MEMBER BYRON: Let's just take
8 a second here. I lost mine, as well, I think.

9 (Pause.)

10 MR. THOMPSON: Well, I'm almost done.

11 MS. KELLY: Okay.

12 PRESIDING MEMBER BYRON: Is there a way
13 we can let people on the phone know we may have
14 lost our audio here?

15 MS. KELLY: (inaudible).

16 PRESIDING MEMBER BYRON: But in terms of
17 the audience here, if you'll just speak more
18 loudly, and I'm sure the reporter will pick it up,
19 as well. That's what the second microphone is
20 for. You can proceed.

21 MS. KELLY: They're all dead. As soon
22 as we take our break for lunch we'll start
23 crawling under the tables and get everything
24 right. Go ahead, Doug.

25 MR. THOMPSON: Fine. So, the additional

1 steps over the course of the next year include
2 finalizing the reduction strategies in the scoping
3 plan, including the cap-and-trade regulation. And
4 considering whether what types of changes are
5 needed in the reporting regulation.

6 We also intend to augment the reporting
7 requirements as needed in the future, either to
8 meet the needs of other state legislation such as
9 this, or also additional sectors that may come in,
10 particularly in response to the Western Climate
11 Initiative. And the likelihood that we'll move
12 eventually toward a regional trading program and a
13 federal trading program.

14 This is just contact information for
15 reaching me, Richard Bode is my boss at the Air
16 Resources Board, as the Chief, emission inventory
17 branch. Renee Lawver is our staff lead on
18 cogeneration. And Renee is here. Also our
19 website is there for your -- if you haven't seen
20 that already.

21 Thanks very much.

22 PRESIDING MEMBER BYRON: Thank you, Mr.
23 Thompson. You know, I have to apologize, ask for
24 your forgiveness, because I haven't tracked, as
25 closely as perhaps I'd like, all the activities

1 going on at the ARB, particularly with regard to
2 reporting.

3 And I suspect that you're putting up
4 this contact information to solicit input with
5 regard to reporting.

6 But isn't the key issue really for
7 combined heat and power what sector are the
8 emissions going to be reported in? And maybe you
9 addressed this and I missed it, but we've
10 characterized it in our joint recommendation by
11 the PUC and the Energy Commission, to the ARB on
12 the electric sector, that it's an accounting issue
13 first.

14 Does it go in the electric sector? Does
15 it go in the industrial sector? And then, of
16 course, the administrative burden that's placed on
17 these smaller project is also of some concern.

18 But if you will, going back to that
19 first issue, is that settled at the ARB yet, as to
20 what sector this reports into?

21 MR. THOMPSON: It's certainly not
22 settled in terms of the additional strategies
23 adopted through the scoping plan and the need to
24 perhaps augment the reporting requirements.

25 We had to settle it for purposes of an

1 initial regulation. And we settled it on the
2 basis of using the efficiency methods that we
3 developed for bottoming cycle, and the CCAR method
4 for topping cycle.

5 We're quite aware of the understanding
6 that perhaps in the case of bottoming cycle there
7 should be no assignment of emissions to the
8 electricity side. And we've heard that
9 perspective. We understand that perspective. And
10 I think we'll probably continue to listen to that
11 perspective.

12 I would point out that our collection of
13 distribution of emissions and an accounting of
14 some emissions toward electricity doesn't
15 necessarily presuppose what policy choice you make
16 or ARB makes in the course of the cap-and-trade
17 regulation, on where to assign those emissions.

18 That decision on where to assign the
19 responsibility for those emissions is separate
20 from the reporting regulation.

21 PRESIDING MEMBER BYRON: Thank you. Are
22 there any additional questions for Mr. Thompson?
23 Please, Ms. Vaughan, if you could just -- I think
24 you need to come forward, it's helpful for the
25 reporter so that they can capture it.

1 MS. VAUGHAN: Okay.

2 PRESIDING MEMBER BYRON: Unfortunately
3 the folks on the phone --

4 MS. VAUGHAN: I'll just pretend that
5 it's on?

6 PRESIDING MEMBER BYRON: Well, the
7 second microphone is actually for the court
8 reporter, okay.

9 MS. VAUGHAN: Okay.

10 PRESIDING MEMBER BYRON: So what we're
11 losing here, unfortunately, is our telephone
12 audience.

13 MS. VAUGHAN: Okay. Thanks.

14 It's Beth Vaughan with the California
15 Cogeneration Council. Just a clarifying question,
16 and I'm sorry, maybe I should have asked Gary.

17 But I was looking at your two
18 presentations and Gary had a slide up regarding
19 the recommended CHP actions, the joint
20 recommendations. And I know you were talking
21 about mandatory reporting. But you also talk
22 about next steps. And this issue of finalizing
23 reduction strategies for the cap-and-trade.

24 Where should we be, I think it's your
25 point of which sector is this all being dealt in.

1 We may not necessarily agree with the joint
2 recommendations by the CEC and CPUC on how to deal
3 with CHP.

4 And I was wondering where, in which
5 process should we be participating or which forum
6 should we be participating to talk about that
7 further.

8 And I know there's a cap-and-trade
9 discussions going on and various components, but
10 sometimes the cogeneration group gets lost in all
11 of that. And I'm just not sure, is it better to
12 have one-on-ones with people? Or is there a
13 public forum to be discussing these issues?

14 MR. THOMPSON: Well, there's a process
15 that --

16 PRESIDING MEMBER BYRON: Mr. Thompson,
17 if you will, the other microphone needs to pick
18 you up, as well.

19 MR. THOMPSON: Thank you. So there is a
20 process, as you know, to develop a cap-and-trade
21 regulation. And they're in the process, part of
22 that is sort of specifying particular issues that
23 need to be addressed in separate workshops.

24 And I've kind of flagged this one, and I
25 think others are beginning to flag this one. And

1 get our, the office of climate change realizes
2 that cogeneration needs to be addressed in
3 probably a separate forum.

4 So I would look for some kind of
5 workshop and encourage you to urge that be
6 scheduled sooner rather than later within the
7 development of the electricity portion of the cap-
8 and-trade program to address cogeneration, in
9 particular.

10 We --

11 MS. VAUGHAN: That's helpful. It made
12 me think of Keith's point earlier as to the
13 limited resources. And it's really hard to
14 monitor all of the different workshops that are
15 going on at ARB, and wondering is your issue going
16 to appear in one of those workshops or not.

17 So, I take your point.

18 MR. THOMPSON: Yeah, and I'm glad to
19 talk with you further and help your message to get
20 heard where it needs to be heard.

21 MS. VAUGHAN: Okay, great. Thank you.

22 PRESIDING MEMBER BYRON: Ms. Vaughan,
23 I'm very sympathetic to this concern. We have a
24 proceeding at the Public Utilities Commission on
25 this issue. We have joint recommendations that

1 we're making with our two Commissions to the ARB
2 for the electric sector GHG reduction; we have,
3 obviously, guidelines we're developing here and
4 other interests in combined heat and power.

5 There are other proceedings at the PUC.
6 There are at least two sectors that you need to be
7 concerned about at the ARB for reporting both the
8 electrical and the industrial. I don't know how
9 much more thinly we could spread the resources
10 that are required to cover all this.

11 And so I'm very sympathetic to this.
12 And it's part of why I think it's incumbent upon
13 us and the Public Utilities Commission to not
14 assume that just because we have a party, the
15 parties are going to show up. I've mixed a
16 metaphor there, I think.

17 (Laughter.)

18 PRESIDING MEMBER BYRON: It's very
19 difficult for everybody that's participating in
20 the GHG reduction process that's going forward in
21 this state, from investor-owned utilities down to
22 the POUs, down to -- oh, we're back -- down to
23 smaller organizations such as yours.

24 I'm very concerned about this. And this
25 is why, I think, the agencies and the commissions

1 have to reach out, to some extent, and solicit
2 your input. But also, to some extent, represent
3 the interests of the end-use customer here, and
4 the efforts that this sector is trying to do.

5 Again, it's all centered, though, on
6 reducing greenhouse gases now.

7 MS. VAUGHAN: Right. And I appreciate
8 those comments and we are one -- just because we
9 don't show up doesn't mean we don't care. But we
10 have limited budget and limited ability to appear
11 at all these different forums.

12 So that's why I was wondering what's the
13 most effective way. Certainly written comments,
14 in this instance, we'll follow up probably with
15 written comments. But not make a presentation
16 today.

17 Thank you.

18 PRESIDING MEMBER BYRON: Thanks for
19 being here. Any other questions for Mr. Thompson?
20 If not, I think Ms. Kelly has some good news.

21 MS. KELLY: Yes, thank you.

22 PRESIDING MEMBER BYRON: Mr. Thompson,
23 thank you.

24 MS. KELLY: I'd like to thank everybody
25 this morning for coming and speaking --

1 PRESIDING MEMBER BYRON: Ms. Kelly, you
2 need to use the microphone.

3 MS. KELLY: Oh, I'm sorry.

4 (Laughter.)

5 MS. KELLY: I have a good outdoor voice.
6 I want to thank everybody for coming today and
7 giving these presentations this morning.

8 This morning is about sharing
9 information. But this afternoon is about reacting
10 to that information.

11 And what I'd like to do is in the
12 afternoon I'm going to reconfigure the tables so
13 that we have the availability for people to come
14 up and sit at the tables.

15 I'm going to put a sign-up sheet, and if
16 you'd like to come and sit up at the table because
17 you feel you'll have multiple times that you want
18 to answer questions or comment on questions, just
19 put your name here. And we'll try to accommodate
20 as many of you at the table as possible.

21 But even if you aren't at the table,
22 you're still going to be free to come up to the
23 podium and comment on the questions.

24 What we're looking for this afternoon,
25 we've asked some questions, and now we want to

1 hear what you think about these questions.

2 We've talked this morning, but now we
3 want to know what you think, and what you think
4 are the problems or the issues are with regards to
5 these questions.

6 Before we start we've been asked to have
7 two presentations, Eric and Keith Davidson are
8 going to give us a short presentation before. But
9 other than that, unless there is anybody else who
10 has a presentation they'd like to give before the
11 questions -- we have a public comment period
12 afterwards, but if there isn't anybody who wants
13 to do it before, we'll just go ahead with the
14 agenda as I just outlined it.

15 Will that work for everybody? Okay.

16 PRESIDING MEMBER BYRON: Good.

17 MS. KELLY: All right, here's the sheet.
18 If you want to sit at the table, please just sign
19 up and then I'll find a place for you at the
20 table. And then anybody else, you can just come
21 up to the podium and we'll discuss our questions
22 in the afternoon.

23 If you could get back here within an
24 hour, maybe five minutes earlier, so we can get
25 started around 20 till 2:00 it's going to be, I'd

1 appreciate it.

2 I realize it's not a long time for
3 lunch, but I tried to give you a little late in
4 the morning so that you didn't have to get up in
5 the dark to come here.

6 So we have to move quickly through the
7 rest of the afternoon.

8 I appreciate your cooperation.

9 PRESIDING MEMBER BYRON: Mr. Davidson, a
10 question?

11 MR. DAVIDSON: Yeah, just a question
12 about the, is there a time that this is going to
13 end, or will it just go until --

14 PRESIDING MEMBER BYRON: There is some
15 flexibility. We will make sure that there's
16 plenty of comment.

17 However, that's not a license for you
18 and Mr. Wong to make exceptionally long
19 presentations.

20 (Laughter.)

21 PRESIDING MEMBER BYRON: Let's be back
22 here at 1:40. And if you're late, you don't get
23 to hear those two gentlemen speak. Okay?

24 MS. KELLY: Okay, thank you very much,
25 everybody. Thank you.

1 PRESIDING MEMBER BYRON: Thank you.

2 (Whereupon, at 12:40 p.m., the workshop
3 was adjourned, to reconvene at 1:40
4 p.m., this same day.)

5 --o0o--

1 AFTERNOON SESSION

2 1:41 p.m.

3 MS. KELLY: Welcome back, everybody. As
4 you see, we've reconfigured the room to really
5 encourage discussion.

6 And as we were breaking, Commissioner
7 Byron, several people indicated that they felt
8 that if they gave short presentations first, it
9 would better inform the discussion than if they
10 gave them in the public comments after.

11 So we're going to have four
12 presentations. We're going to ask people to move
13 through them as quickly as possible. And as I
14 indicated with Art Soinski, if you can ask
15 clarifying questions, those are important.

16 But then I think some of the issues,
17 I've looked over some of the presentations, are
18 covered in our questions, you know. The issue of
19 efficiency, several of the issues that are covered
20 in our questions, I think we can have face-to-face
21 discussions about what each of you think and your
22 opinions on what these should or shouldn't be.

23 So, is that all right with you,
24 Commissioner Byron, if we have these presentations
25 first?

1 PRESIDING MEMBER BYRON: Sounds great.

2 MS. KELLY: Okay.

3 PRESIDING MEMBER BYRON: And I like our
4 more informal setting here, although I am feeling
5 rather isolated over here.

6 (Laughter.)

7 MS. KELLY: Well, yes, somebody please,
8 you know, move in next to Commissioner Byron.
9 There are two seats there. Please feel free to
10 join everybody at the table.

11 PRESIDING MEMBER BYRON: Two or three.
12 Mr. Collord, if you'd like to join me up here I'd
13 like to chat with you briefly while we're --

14 (Laughter.)

15 MS. KELLY: And then people from the
16 audience, please, you know, just come up here to
17 the podium and participate through the podium, as
18 well.

19 Eric, would you like to start?

20 Eric Wong, as you all know, is from
21 Cummins; and he's going to give a short
22 presentation on CHP.

23 MR. WONG: I want to thank you for
24 allowing me to do this. What I've done here is
25 very quick and short. I'm addressing several of

1 the questions that are asked by the Commission.

2 Before going on I do want to add that I
3 am the chair of the California Clean DG Coalition,
4 which is made up of manufacturers of internal
5 combustion engines, microturbines and small
6 turbines, and as well as project developers and
7 consultants.

8 Okay, so what I'll cover today, probably
9 take me no more than ten minutes, is the issue of
10 the 66, or the minimum threshold that's in the
11 statute, AB-1613 at 60 percent.

12 And I'm going to refer to a recent
13 report that was published last December. And I
14 have the report number there, PM2008 224. And I
15 do have a few copies, so if you -- it's easily
16 downloadable. Commissioner Byron, if you would
17 like a hard copy, I have one for you.

18 Next I want to talk about, in a little
19 more detail than what Dr. Soinski presented on LHG
20 versus high heating value. And finally, this
21 issue of subrogated power and combined heat and
22 power, which has also been investigated in other
23 states, among them Massachusetts.

24 Okay. To the first point on the 66
25 percent efficiency, this Oak Ridge report was done

1 and completed and published in December last year.
2 It was done by ICF Consulting.

3 And what they did was look at 3300 sites
4 over 85 gigawatts CHP capacity. And it's defined
5 as that. I won't go through that. That's pretty
6 much a standard definition in terms of looking at
7 its being onsite.

8 The database is meant to be
9 comprehensive for systems above a megawatt; about
10 98 percent comprehensive. And the -- system is
11 about 80 percent.

12 And what they had to do for the above 80
13 percent, they actually did some estimating. And I
14 won't get into that.

15 PRESIDING MEMBER BYRON: You say 85,000
16 all domestic CHP?

17 MR. WONG: Yes, this is in the U.S.
18 Yeah. Thank you for that question.

19 Okay, so the CHP fleet performance here,
20 and the one that they came up with is the average
21 CHP efficiency of 66.3 percent. Again, for that
22 85,000 gigawatts on a higher heating value basis.
23 And a total CO2 savings of, as given, of 248
24 million metric tons. And then the further
25 assumptions are here.

1 Now, I'm just presenting what's in the
2 report, and these slides are based on a
3 conversation with Bruce Hedman, who was the lead
4 investigator for ICF Consulting firm. And if
5 there's a need for the Commission to get into any
6 of the details, he asks that the Oak Ridge
7 National Lab be asked specific questions. Don't
8 just ask, say, for the database, okay, which would
9 be extremely difficult to deliver. Although they
10 do maintain it.

11 This is an illustrative slide here. I'm
12 moving to the second topic, which is lower heat
13 value versus higher heating value. And I'm saying
14 here that it must be designated by fuel type.

15 You know, all morning we were talking
16 about natural gas. And different fuels have
17 different heating values, and therefore different
18 ratio. So that will affect the conversion factor.
19 I want to make sure that the three agencies here
20 are, I think you guys are aware of this, but I
21 just wanted to make sure that we're all on the
22 same page in discussing this issue.

23 Again, this, I will say, this is from
24 Wikipedia, okay, so I just Googled higher heating
25 value and it led me to this. I won't, you know,

1 vouch for the veracity of this because at
2 Wickipedia you can always go back in and change
3 things. So, again, that's why I say it's
4 illustrative.

5 For natural gas. We talked about the
6 conversion factors earlier. And I do want to
7 point out the difference between heat content
8 conversion factor versus the efficiency conversion
9 factor. Both, again, for natural gas.

10 Okay, so it's a little bit maybe
11 counter-intuitive, but you spend some time on it,
12 lot simpler than the second law of thermodynamics.

13 And, again, the other point I made about
14 the previous slide is that it will vary by your
15 fuel type.

16 The last point I wanted to get to is
17 that I'm going to advise that the Energy
18 Commission look at what has been done in other
19 states. I can't darken the lights here; I don't
20 know how to do that.

21 But this has been looked at in
22 Massachusetts by the Massachusetts Department of
23 Environmental Resources, I think, DOER. And they
24 looked at this specifically. They got comments
25 from a lot of people and at PACE Energy Climate

1 Center.

2 And I will be the first to admit there
3 were many comments filed, some didn't even address
4 the issue. PACE was one of the few that did and
5 got very specific on this point of a high
6 efficiency boiler versus the, you know, separate
7 prime mover.

8 And also addressed the point which is in
9 the second -- third sentence. Evidence from
10 several experts in this field, including project
11 developers, et cetera, have demonstrated that the
12 effect of these very high standards that we need
13 to provide a very small incentive, or no incentive
14 at all to CHP in Massachusetts.

15 So, while there's some things you can
16 translate and adapt from state to state, and there
17 are others that you can't, my point here is that
18 other states have investigated this, and urge the
19 Commission to look at those other states.

20 I actually, in the sake of time, I
21 presume that the Energy Commission will post this
22 slide presentation on the website --

23 MS. KELLY: Yes.

24 MR. WONG: -- and so I'll save that.

25 And that will get me to my recommendations.

1 Again, for the Oak Ridge report, if you
2 have specific questions, again you would ask Patty
3 Garland, G-a-r-l-a-n-d, of Oak Ridge. She'd be
4 the one to ask whatever you want. Again, don't
5 make it a broad request.

6 HHV, made that statement before. The
7 metrics, I do resonate or echo the comments
8 earlier that we need to have metrics for both
9 topping and bottoming cycles, distribute
10 differentiated. But I really think it can be done
11 mathematically for bottoming cycles.

12 And finally, the separate heat and power
13 and combined heat and power investigation in
14 Massachusetts, and maybe Connecticut. But,
15 anyway, there are other states, at least two
16 states. One of the states is Massachusetts that
17 has looked into this matter.

18 Contact information. And that's all I
19 have.

20 PRESIDING MEMBER BYRON: Mr. Wong, if I
21 could, on the last, the SHP versus CHP. And I had
22 not heard SHP as a term until just the last month
23 or so, separate heat and power, correct?

24 MR. WONG: Separate heat and power.

25 PRESIDING MEMBER BYRON: So isn't this

1 really about the relative efficiency, I mean let
2 me ask it this way. If you're going to compare to
3 a national grid average of 30 to 33 percent kind
4 of efficiency, yet earlier when we were talking
5 with PG&E, we were talking about an efficiency
6 that might compare to the next power plant that's
7 built, the most efficient combined cycle plant,
8 which might have a much higher efficiency than
9 that.

10 Isn't that really what we're talking
11 about when we're comparing CHP versus SHP are
12 those efficiencies embedded versus the next
13 new --

14 MR. WONG: That's one comparison. But
15 this one here specifically, as I understand it,
16 both in Massachusetts, as it has appeared as an
17 issue in the CHP workshops at the Air Resources
18 Board, is to look at the -- I think it's actually
19 here -- you're looking at the 95 percent efficient
20 boiler, some super-efficient boiler. And
21 separately you look at a very efficient prime
22 mover, be it an ICE, a microturbine generator, or
23 a, you know, small gas turbine.

24 So, it's not really a comparison to the
25 central station power plant in California. It is

1 looking at the separate thermal unit and a
2 separate prime mover unit versus a combined heat
3 and power system, and how do they match up.

4 PRESIDING MEMBER BYRON: Um-hum.

5 MR. WONG: Does that --

6 PRESIDING MEMBER BYRON: Yes, but so in
7 the second line there, typically stated in the
8 range of 30 to 33 percent. That's the grid
9 average, correct?

10 MR. WONG: Yes.

11 PRESIDING MEMBER BYRON: Okay. And
12 that's not a very high threshold.

13 MR. WONG: That would be my opinion,
14 too.

15 PRESIDING MEMBER BYRON: Yeah, but a 45
16 percent combined cycle plant is a much more
17 difficult threshold, much higher threshold, so SHP
18 -- I guess what I'm ultimately asking, does SHP
19 make sense?

20 MR. WONG: I would probably say no.
21 But, again, I'd want to investigate. I mean just
22 a case-by-case situation.

23 PRESIDING MEMBER BYRON: Okay.

24 MR. WONG: I mean in my experience when
25 I was selling cogeneration, we always looked to

1 the best thermal, electric and thermal match. And
2 CHP was often, you know, most efficient.
3 Otherwise you couldn't sell that to the end user.
4 Because you had to demonstrate savings and payback
5 within X number of years.

6 PRESIDING MEMBER BYRON: All right,
7 thank you.

8 MS. KELLY: Any other questions or
9 clarifications? Okay.

10 Next, Keith Davidson has a short
11 presentation.

12 (Pause.)

13 MR. DAVIDSON: Thanks, Linda. And thank
14 you, Commissioner Byron. Art Soinski had asked me
15 to share with the group other perspectives I may
16 have on, you know, what an appropriate efficiency
17 floor should be or could be for combined heat and
18 power.

19 And I just thought it would be useful to
20 kind of share what the state of Oregon is doing,
21 and how they're approaching combined heat and
22 power. And then follow it up with a few analyses
23 on some various cogen technologies that I've done,
24 just to give you an indication.

25 But the approach that Oregon uses, they

1 call it fuel chargeable power. So the mindset is
2 that our cogen unit is displacing a boiler. So
3 your primary purpose isn't necessarily general
4 electricity; your purpose is to displace a boiler.
5 And power is a byproduct. And the avoided boiler
6 fuel, then, is subtracted from the fuel input to
7 the combined heat and power system to come up with
8 the amount of fuel that's really chargeable to
9 power.

10 And this is one of their slides that
11 they use to kind of explain it. I'm going to risk
12 just kind of stepping away from here for a second.

13 But this is the fuel going into the
14 unit; this is the heat recovery from the unit.
15 Here's the avoided boiler losses that you would
16 incur if you were to generate this amount of heat
17 from a boiler. And what's left over is the amount
18 of fuel that's chargeable to power.

19 So that's the approach that they use.
20 And, you know, there's a certain amount of logic
21 that goes along with their program.

22 They've got three different kinds of
23 incentives that are available for combined heat
24 and power. The Oregon Department of Energy is the
25 first one. It's a 35 percent tax credit over five

1 years.

2 Or they give people a discounted cash
3 payment. So even people that aren't taxpayers,
4 nonprofit organizations, can get the benefit of
5 that from the Oregon Department of Energy.

6 The Energy Trust of Oregon, as an
7 incentive, it's linked to energy savings, and
8 there'll be more about that on the next slide.
9 And CHP is eligible to sell carbon offsets.

10 And unlike, you know, this is kind of a
11 tangent, but I'll just say it now, that unlike the
12 CEC/PUC-proposed or final decision to CARB where
13 CHP users have to buy carbon offsets, they're
14 saying you can sell your carbon offsets, and not
15 have to buy carbon offsets.

16 So in this case it's an incentive. I
17 worry that in California there's a disincentive
18 being set up, or at least being talked about.

19 And the CHP incentives are consistent
20 with energy efficiency and renewable energy
21 incentives.

22 So everything they -- their whole energy
23 incentive structure is all linked together in a
24 consistent format.

25 Just a few tidbits on it. When they

1 talk about what the avoided resource is from
2 combined heat and power, they -- I don't really
3 know this model, but it's the Aurora model, which
4 is a regional dispatch model that they use to
5 calculate what the avoided resource efficiency is
6 for baseload power from a combined heat and power
7 system.

8 And by the way, most of this pertains
9 to, I think most of this pertains to onsite
10 generation, and not necessarily wholesale
11 generation. But I could be wrong.

12 And just kind of an FYI, their avoided
13 resource mix includes a percent coal.

14 They do take into account transmission
15 and distribution losses. So in addition to that
16 avoided resource number, there's T&D losses that
17 get added to that. And if they're a transmission
18 level customer it's 6 percent; primary, secondary,
19 it's 10 percent.

20 But that is not necessarily the
21 threshold for participating in the program. That
22 kind of benchmarks what you're savings are. To
23 participate in the program, and this is the same
24 number for the office, Oregon Department of
25 Energy, and the Energy Trust of Oregon. They have

1 a threshold, an efficiency threshold of power
2 chargeable to power -- fuel chargeable to power of
3 6120 Btus a kilowatt hour.

4 And basically it's calculated on a 6800
5 Btu a kilowatt hour combined cycle plant. And
6 they've bettered that by 10 percent. So that was
7 their rationale for how you become eligible.

8 And then I think, as everybody here
9 knows, there's all kinds of technologies that are
10 available for people that are considering combined
11 heat and power, depending on your size.

12 And so what I did here was to try just
13 to illustrate what the fuel chargeable of power
14 for various combined heat and power technologies
15 are, against some central station.

16 And the assumption here, all these
17 numbers were taken from the spec sheets. Here's a
18 simple cycle gas turbine, 100 kilowatt engine,
19 2000 kilowatt engine, 65 kilowatt microturbine and
20 a 1400 kilowatt fuel cell. These are all numbers
21 from the spec sheet.

22 And if you look at this, aside from this
23 bar here, that would be the heat rate of the
24 system without any heat recovery. And if you
25 subtract out the heat recovery, and then you

1 subtract out, in addition to that, the boiler
2 losses you would incur, and for this I assumed an
3 80 percent efficient boiler, which I think is a
4 little higher than the average mix in California,
5 from what I understand.

6 And then you compare that against --
7 this is SB-1368, so this is the California
8 procurement efficiency standard. You can see
9 where that number is.

10 This is basically the unit that Oregon
11 used to kind of set the benchmark. It's a 50
12 percent higher heating value efficient combined
13 cycle system. And then there's some talk about
14 some, you know, the new GE system, which I think
15 there's a unit or two operating internationally,
16 but not in the United States, that actually gets a
17 lower heating value efficiency of 60 percent.

18 So, all of these heat rates, by the way,
19 a higher heating value.

20 And then you can -- the same graph, just
21 a different scale, can tell you really what their
22 greenhouse gas emissions are. These are all
23 natural gas systems. And in the interest of time
24 I'm not going to go through that.

25 So then when I -- this one here was same

1 thing, 100 percent heat utilization, 85 percent
2 efficient boiler. It basically made this part a
3 little bit smaller, this piece a little bit
4 smaller and moves it up on top of the line. It
5 didn't change it a whole bunch really.

6 So, 100 percent heat utilization. To me
7 it's -- to me I'm comfortable in saying that if
8 you use all the heat, combined heat and power is a
9 really good thing for California.

10 And now what this does is say, all
11 right, what if we only use 80 percent of the heat.
12 And the numbers here are what the overall
13 efficiencies become. And I probably should have
14 went through those in the last slide.

15 But you can see that they're all
16 dropping down between low 60s and 70 percent. If
17 you only use 80 percent of the heat and the bars
18 start creeping up, and they start encroaching on
19 this super combined cycle, which is really sort of
20 the eligibility threshold as defined by Oregon.
21 So this number equates to about the same as what
22 Oregon has as their eligibility threshold.

23 And then, you know, same thing on the
24 greenhouse gas emissions.

25 And then what I did, let's just say

1 they're all at 60 percent overall efficiency. And
2 if you really get there you can see that I think
3 all or them, or most of them, stay below the
4 current, you know, metric for combined cycle. But
5 probably very few of them equal the threshold that
6 Oregon would have set out.

7 But, you know, to me it's close enough
8 where I still say 60 percent's okay. But if you
9 want to be more exact about it, I think maybe
10 Oregon's approach is a little bit more methodical.
11 You might want to, you know, there's probably
12 other ways to look at getting to the same kind of
13 an answer. And, again, it's the same thing, but
14 greenhouse gas.

15 So here's the bottomline. Here's all
16 the benefits for combined heat and power. And,
17 you know, it is good value. It doesn't always
18 make the most sense to do it first when there's
19 energy efficiency options ahead of it. But
20 there's still a lot of benefits.

21 And usually what happens, I mean I spent
22 a bunch of years working for an energy service
23 company before I started my own business, and we'd
24 always look at energy efficiency options in tandem
25 with combined heat and power.

1 And you'd usually wind up -- the
2 efficiency wouldn't usually negate the combined
3 heat and power. It would usually suggest that you
4 look at a smaller system than you would have if
5 you didn't look at the energy efficiency measures.

6 And, you know, so that kind of
7 summarizes my remarks. And I would really
8 encourage people to take a consistent approach
9 with combined heat and power relative to
10 renewables and relative to energy efficiency.
11 Much like Oregon does, and several other states.

12 So that's it. Thank you very much.

13 PRESIDING MEMBER BYRON: So, Mr.
14 Davidson, I take it you like what Oregon's done?

15 MR. DAVIDSON: I think it makes sense.
16 I --

17 PRESIDING MEMBER BYRON: You need to be
18 at a microphone. You need to be at a microphone.

19 MR. DAVIDSON: I'm sorry. Well, it's
20 logical and it's defensible. And so -- and the,
21 you know, the 60 percent seems to be a little bit
22 arbitrary. And the Oregon approach does take
23 into account differences in technologies that
24 exist among combined heat and power systems.

25 But I think, also, 60 percent is close.

1 Sixty percent is easy. And I wouldn't object to
2 the 60 percent. But Art asked for my thoughts and
3 I just thought I'd share the Oregon example with
4 you.

5 PRESIDING MEMBER BYRON: Very good,
6 thank you. I think it's very helpful to have
7 these kinds of out-of-state, out-of-body
8 experiences. We need more of them here in
9 California.

10 MR. SCHOENBECK: Excuse me,
11 Commissioner. This is Don Schoenbeck and I'd just
12 like to make one remark about the Oregon system.

13 Participants are allowed to buy offsets.
14 So in the event they cannot achieve that
15 efficiency goal, they can plant trees in Brazil,
16 and they can make monetary contributions for other
17 purposes to be able to achieve that target.

18 So, with that clarifying point.

19 PRESIDING MEMBER BYRON: Thank you.

20 MS. KELLY: The next presentation is
21 going to be from SCE, Marci.

22 MS. BURGDORF: Thank you and good
23 afternoon. This is Marci Burgdorf with Southern
24 California Edison. And I wanted to give a
25 background on Edison's cogeneration portfolio and

1 how we've been operating.

2 Edison has significant experience with
3 cogeneration. We've been collecting data on cogen
4 for more than 30 years. We have a substantially
5 sized portfolio, 2200 megawatts of CHP. And we
6 have a wide range of sizes and a wide range of
7 efficiencies.

8 So we have very small systems in the 30,
9 40, 50, 60 kilowatt range, all the way up to about
10 400 megawatts. They serve a variety of facilities
11 and plants, commercial buildings, schools. We
12 have some wastewater treatment plants.

13 And the efficiency ranges quite a bit.
14 We see efficiencies in the 30s, and we've seen
15 efficiencies all the way up in the high 80s.

16 About half of the projects that we have
17 sort of hit the 60 percent efficiency line. And
18 about half of the projects operate either at or
19 below that. There's a handful that operate right
20 around the 60 percent. But for the most part,
21 they are underneath that threshold.

22 We do have projects that have achieved
23 very high efficiencies. We do have four projects
24 that operate at or about, higher than 80 percent
25 efficiency.

1 So the point is that, you know, there's
2 a full range of efficiencies that we see. And
3 that it is achievable. We have seen 60, 70, 80
4 percent ongoing.

5 In terms of system sizing, we have
6 projects that serve their onsite load, or have
7 just a small amount of excess to export to us.
8 And then we also have a number of projects that
9 export quite a bit of generation. And one-third
10 of our projects, we purchase more than 50 percent
11 of their generation combined.

12 We do have topping cycle and bottoming
13 cycle CHP systems, with the majority of them being
14 topping cycle. And the fuel sources for those are
15 mostly natural gas. We do have some digester and
16 coal-fired, as well.

17 PRESIDING MEMBER BYRON: Ms. Burgdorf,
18 how --

19 MS. BURGDORF: Yes.

20 PRESIDING MEMBER BYRON: -- do you get
21 the efficiency ratings for the various units?

22 MS. BURGDORF: The efficiency data is
23 reported to us, self-reported from the generators,
24 themselves, through their contract. So they
25 report monthly fuel us data on an annual basis to

1 us. And that data is verified. We do auditing of
2 the data, itself. And they report thermal output,
3 fuel and generation.

4 MR. SCHOENBECK: Quick clarification,
5 Marci.

6 PRESIDING MEMBER BYRON: Please use your
7 microphone, Mr. Schoenbeck.

8 MR. SCHOENBECK: I'm sorry. Are all
9 those higher heating value?

10 MS. BURGDORF: Yes, thank you. Good
11 question.

12 MR. SCHOENBECK: Thank you.

13 MS. BURGDORF: They are higher heating
14 value, yes.

15 So just to give you an idea in terms of
16 our procurement, and the production and export
17 efforts of CHP systems. What we did is divide out
18 here into the larger type projects, the 50
19 megawatt and above range, and 50 megawatts and
20 lower.

21 And a majority of the projects -- excuse
22 me, the above -- smaller amount of the projects,
23 you know, produce quite a bit more of the kilowatt
24 hours to us. On average, in terms of the
25 generation, about 77 percent of that is exported

1 to Edison, and we purchase that on an annual
2 basis. So this graph just breaks down how it
3 applies to the different sized projects.

4 PRESIDING MEMBER BYRON: Of course, the
5 threshold we're talking about here is 20
6 megawatts, so --

7 MS. BURGDORF: Twenty megawatt, yeah.

8 PRESIDING MEMBER BYRON: -- it would be
9 a subset of the darker blue here?

10 MS. BURGDORF: That's correct.

11 PRESIDING MEMBER BYRON: Okay.

12 MR. COLVIN: Marci, just --

13 MS. BURGDORF: Yes.

14 MR. COLVIN: -- try and talk into the
15 mic. So, --

16 MS. KELLY: Your name?

17 MR. COLVIN: Sorry?

18 MS. KELLY: Your name?

19 MR. COLVIN: Oh, this is Michael from
20 the CPUC.

21 Just looking at this graph, so if I'm
22 reading it correctly, you have the ten projects
23 over 50 megawatts, the 35 below 50 megawatts, so
24 for a total of 45. Obviously, SCE -- you have
25 more than 45 total projects. So where did the 45

1 number come from?

2 MS. BURGDORF: Yeah, that's the number
3 of projects that reported data to us on an annual
4 basis. This is based on 2006 data. And so it's
5 the number of projects that have reported under
6 the terms of their contract.

7 We do have projects that don't report
8 data to us, but are under contract and operating.

9 MR. COLVIN: So of the 2000-plus
10 megawatts in Edison's territory, but only these 45
11 projects are reporting data to you.

12 MS. BURGDORF: That's correct.

13 MR. COLVIN: And how much is that of
14 your sample, do you have any sense of like --

15 MS. BURGDORF: In terms of megawatts?

16 MR. COLVIN: Yeah.

17 MR. GRADY: 99 percent.

18 MS. BURGDORF: 99 percent, thank you.

19 MR. COLVIN: Okay, there you go, okay,
20 thank you.

21 MS. BURGDORF: In terms of payments to
22 cogenerators in comparison to other technologies,
23 specifically renewable technologies, this is data
24 that's published in our financial and statistical
25 report. And what it shows is the online dedicated

1 capacity deliveries and payments that have been
2 made. This was in 07 for these.

3 And the one important point to stress
4 here is that efficiency is not limited by size,
5 it's not limited by operation, from what we've
6 seen as part of our portfolio.

7 The top three projects here represent
8 the highest efficiencies that we do have. You'll
9 see there's a range of industries and a range of
10 what they actually use the cogen for.

11 So we have refinery processes, we have
12 heating for buildings, pools, spas, and
13 surrounding buildings.

14 And our top efficiency projects export
15 very little, if any at all, of their generation.
16 They use almost all of it onsite, with the one in
17 the middle having some occasional export.

18 The ones that are on the lower end, and
19 again what we're trying to demonstrate here is
20 that, you know, size is not limited by efficiency,
21 and that it can be achieved. And has been
22 achieved.

23 So some of the lower efficiency projects
24 we have are noted here below. We have them
25 ranging from manufacturing process, where they're

1 exporting a majority, if not all of their
2 generation. And, again, a very similar type
3 situation where you have a cogenerator that's
4 heating their buildings and pools and kitchens,
5 and they're still exporting quite a bit, if not
6 all, of their output.

7 And then we do have two wastewater
8 treatment plants listed here. And the one of them
9 does serve almost all of the onsite load; and the
10 other one is -- output.

11 PRESIDING MEMBER BYRON: Ms. Burgdorf,
12 these, of course, represent a sampling of the 32
13 or so, if I have that number right --

14 MS. BURGDORF: Forty-five.

15 PRESIDING MEMBER BYRON: -- 45 that --
16 CHP units that are reporting. But would you know
17 the average efficiency of those less than say 50
18 megawatts?

19 MS. BURGDORF: Do we know that, Will.

20 PRESIDING MEMBER BYRON: Or preferred
21 less than 20 megawatts.

22 MS. BURGDORF: Less than 20 megawatts?
23 The average efficiency. Off the top of my head I
24 don't know.

25 PRESIDING MEMBER BYRON: Okay.

1 MS. BURGDORF: But we can certainly
2 include that in our comments, --

3 PRESIDING MEMBER BYRON: Well, that
4 would be the --

5 MS. BURGDORF: -- the breakdown.

6 PRESIDING MEMBER BYRON: -- that would
7 be the one that I think would be of interest,
8 since we're trying to talk about threshold for
9 that.

10 MS. BURGDORF: Sure.

11 PRESIDING MEMBER BYRON: Thank you.

12 MR. DAVIDSON: This is Keith Davidson
13 with the DE Solutions. But for people that are
14 reporting to you have signed interconnection
15 agreements with you? Or power sales agreements
16 with you?

17 MS. BURGDORF: They have power sales
18 agreements with us.

19 And that's all I have.

20 PRESIDING MEMBER BYRON: Thank you.

21 MS. KELLY: The next presenter is going
22 to be from EPUC, and let's see --

23 MR. SCHOENBECK: Don Schoenbeck.

24 MS. KELLY: Okay, why don't you
25 introduce yourself.

1 MR. SCHOENBECK: Thank you. Hi, I'm Don
2 Schoenbeck. And this has actually ended up being
3 a pretty good order because I'm going to talk in
4 terms of efficiency, too. We've heard from Eric
5 on a national basis; we've heard from Keith on a
6 regional basis; and Marci's given some statistics
7 about SCE's CHP facilities.

8 I'm going to go one level further down
9 her way, if I can figure out how to use this. But
10 before I say that, every efficiency value in my
11 presentation will be higher heating value.

12 I absolutely believe what Art said in
13 his presentation is absolutely right, the industry
14 literature is a little bit sloppy in reporting
15 efficiencies if it's HHV or LHV. So I made my
16 best effort to make everything HHV.

17 And, again, this presentation will focus
18 on efficiency. And we believe the correct value
19 is 60 percent, that's what's in the legislation,
20 and that's what we believe should be the target.

21 What we've done is an analysis where
22 we've looked at actual EWG plants in the state of
23 California based on 923 data for the year 2008.
24 We've compared that with the presentation SCE did
25 here about 23 months ago with regard to their QF

1 efficiency data for the year 2003.

2 Now, what Marci showed was 2006. 2003
3 versus 2006, in my mind, won't be that different
4 as long as the thermal load's the same. She
5 presented the argument that the size doesn't
6 matter. You can get high efficiencies or low
7 efficiencies for the same technology. It's
8 actually because of the thermal load. So you can
9 achieve high efficiencies with both small CHP and
10 large CHP. But you need the same solid thermal
11 load.

12 So what I've attempted to do here is by
13 combining the CHP data with the EWG data, it gives
14 you a representation of what's going on in the
15 state of California today.

16 So what you see on the upper line that
17 goes across the graph is that the average CHP
18 fleet for Southern California Edison is around 60
19 percent. And the average EWG efficiency for the
20 state of California is 36 percent. This includes
21 every gas-fired plant that operated in the state
22 for the 2008, as reported in that database.

23 From our review of it, there are only
24 about four units, gas-fired units, that did not
25 report in that database. And one of them is the

1 Oakland CTUs, for example. So they're relatively
2 smaller low load factor units.

3 PRESIDING MEMBER BYRON: And EWG is the
4 exempt wholesale generator?

5 MR. SCHOENBECK: Right. I'm using that
6 term loosely --

7 PRESIDING MEMBER BYRON: All right.

8 MR. SCHOENBECK: -- to mean utility or a
9 third-party owned natural gas-fired generation.

10 PRESIDING MEMBER BYRON: And I'm
11 reminded, there's one other acronym we didn't
12 spell out. And that's EPUC. Would you remind
13 everyone --

14 MR. SCHOENBECK: Oh, Energy Producers
15 and Users Coalition. I'm sorry.

16 That previous slide was actually based
17 on the total efficiency basis. Did I skip two?
18 Or I didn't skip enough. Let's see.

19 (Pause.)

20 MR. SCHOENBECK: Here we are. One thing
21 I didn't explain about this slide, this is on a
22 total efficiency basis, so it's taking into
23 account for the CHP facilities, both the steam and
24 the electrical production.

25 What I've done on the next slide, now,

1 is try to make it more of an apples-to-apples
2 comparison by showing what would be the net
3 electric for the CHP facilities. And I assumed an
4 80 percent efficiency for the thermal load.

5 What you'll see, of course, is a
6 dramatic shift to the left of all the CHP
7 facilities with the existing gas-fired utility and
8 third-party-owned facilities going to the right.

9 I'm going to try to skip through here
10 pretty quickly. I think one of the things that's
11 noted too frequently in doing comparisons is
12 people generally compare what's the existing CHP
13 fleet to a brand new combined cycle turbine.

14 What I've done on this slide -- excuse
15 me -- this slide shows in the middle all the
16 combined cycle, the new combined cycle plants that
17 have come online in the state of California where
18 (inaudible) -- read the names. It's all the old,
19 the 1950 to 1980 vintage oil- and gas-fired
20 plants.

21 I managed to freeze this again, I think.

22 (Pause.)

23 MR. SCHOENBECK: So, now on this slide
24 is the one I meant with respect to taking out the
25 post-2000 combined cycle plants that have been

1 built in the state. There's approximately 10,000
2 combined cycle plants. So this is my apples-to-
3 apples comparison on a net electric basis showing
4 the existing Southern California Edison CHP plants
5 with the pre-2000 gas-fired EWG plants.

6 So, again, when you use the same vintage
7 of technology, you get a dramatic benefit in most
8 cases of CHP over EWG.

9 Now, with respect to looking at new CHP,
10 the EPA put out a report in December of 2008
11 showing different illustrative CHP facilities
12 under five different technologies.

13 What I've pulled from that report is the
14 typical installations they give for gas--
15 configurations they've given for gas turbines.
16 What you have here is three solar turbine
17 facilities, the Saturn 20, which is a 1 megawatt
18 plant; the Terrace 60, which is 5 megawatts; the
19 Mars, which is 10 megawatts. And then two General
20 Electric plants, one that's 25 megawatts, you
21 know, 2500, and the LM6000 is 40 megawatts. I
22 realize the focus of this effort is 20 megawatts
23 or less. But for completeness, I included it.

24 When you look at the total CHP
25 efficiency, which is about the fourth line down,

1 you'll see, as Marci pointed out, you can have
2 extremely efficient facilities that are 66
3 percent, all the way up to 72 percent, on a total
4 basis. When you look at the net electric
5 efficiency it's 48.7 percent all the way up to 66
6 percent.

7 So this is, in my view, very realistic
8 and achievable electrical efficiencies for new CHP
9 technology.

10 If you look at the most efficient
11 combined cycle plant that ran in 2008 in the state
12 of California that was the Metcalf Energy Center.
13 And that was less than 50 percent.

14 So, once you get above Saturn 20, every
15 net electrical efficiency is superior than the
16 best combined cycle plant that's run in the state
17 in the year 2008.

18 There's also a little note, if you can
19 read below the Metcalf Energy Center line on the
20 left side, that's this kind of almost mythical GE
21 Frame H plant. Sometimes I've seen the 60 percent
22 number used for this plant. And just want to be
23 very specific that the 60 percent isn't LHV
24 efficiency. Every manufacturer of facilities will
25 always talk in terms of LHV because they want

1 their heat rates to be as low as possible. But on
2 a HHV basis it's 54 percent. And there are, as
3 far as I know, two plants operating in the world,
4 there's one in Wales and one just started up in
5 Japan this past January.

6 So, again, obviously our bottomline is
7 if you compare the efficiency of a CHP plant with
8 the same vintage of electrical generating plant
9 coupled with an efficient 80 percent type boiler,
10 we believe the CHP will win in most instances,
11 giving significant efficiency savings and
12 greenhouse gas reductions for the state of
13 California.

14 So what we did was trying to show what's
15 a possible future for the state. So what this is,
16 is bringing some of the new CHP into the state
17 that would be at the same efficiency levels as I
18 showed on the previous slide, where the facilities
19 we brought in ranged from 1 megawatt to 40
20 megawatts. And we put them in on the same
21 percentage basis as the existing CHP program.

22 So effectively what we did is we
23 equivalently doubled Edison's existing CHP fleet
24 with new technology. And what you'll see is on
25 the far right, the only place where some of the

1 new combined cycle plants come in and are better
2 than a combined cycle plant, the latest and
3 greatest combined cycle plant, is in the case of
4 the 1 megawatt, which get beyond the 1 megawatts
5 to the 5, to the 10, to the 25s and 40s, in all
6 instances are the efficiencies of those plants
7 superior to the state of the art EWG combined
8 cycle plants that have been built in the state.

9 And that's the end of the presentation.
10 This is just the same slide on a net electrical
11 basis as compared to total efficiency basis.

12 Thank you.

13 MS. KELLY: Okay, thank you very much.
14 So I think we've, from these slides, gotten some
15 interesting opinions about question number one.

16 And now what I'd like to do is go ahead
17 and go away from presentations. There's people
18 that are sitting at the table, and people sitting
19 in the audience.

20 And, Commissioner Byron, I think that
21 what I'd like to do is go ahead and put the
22 questions up on the board here, and just start
23 with the first question.

24 People can raise their hands. I don't
25 think we need to go around the table. If you have

1 nothing to say, that's fine. But why don't you
2 just, you know, indicate to Commissioner Byron
3 that you'd like to speak.

4 And, Commissioner Byron, can you handle
5 around the table? And then once we're finished
6 around the table, then anybody in the audience who
7 would like to add comments on each of these
8 questions can just come up to the podium. Will
9 that work? Okay.

10 PRESIDING MEMBER BYRON: Sure. When
11 you're referring to the questions you mean out of
12 the meeting notice, correct?

13 MS. KELLY: Right.

14 PRESIDING MEMBER BYRON: Okay. Can you
15 have them put up on the screen?

16 MS. KELLY: I am going to, yeah.

17 Question one, okay. The first question
18 that staff would like to pose to everyone is
19 something that's very important to Art. It's is a
20 minimum 60 percent efficiency requirement on a
21 higher heating value basis the appropriate minimum
22 efficiency to achieve the objectives of the act
23 for 20 megawatts or under?

24 Would a higher efficiency standard
25 result in fewer CHP installations and perhaps

1 lower greenhouse gas emission reductions than a 60
2 percent standard? Why or why not?

3 PRESIDING MEMBER BYRON: Please, go
4 right ahead. Identify yourself.

5 MS. KELLY: And remember to say your
6 name. Thank you.

7 MR. SZAGNER: Sure. Joe Szagner with
8 Stanford. Sixty percent is really a good start,
9 but both in the last presentation we had it showed
10 66 to 71 percent achievable. And in the standards
11 from Oregon I would think, you know, 65 to 70
12 percent is more realistic.

13 When I take the factors from Oregon out
14 of that presentation, 6120 was the heat rate after
15 the 5 percent reduction specified. That's
16 equivalent to a 56 percent combined cycle gas
17 turbine plant efficiency.

18 When you combine that with, say, an 85
19 percent boiler efficiency, which I believe is a
20 little more standard today than 80, but it's not
21 going to make a whole lot of difference anyway,
22 then that's equivalent to about a 68 percent
23 overall combined heat and power efficiency.

24 So, in other words, we could get 68
25 percent with a main grid power plant at those

1 lofty levels that Oregon set; and an 85 percent
2 boiler.

3 So, for CHP to actually be better and
4 contribute less greenhouse gases and use less
5 natural gas, then I would think something more
6 around 65 to 70 percent would be better.

7 And my next comment would be on how one
8 calculates overall efficiency of a combined heat
9 and power. On the staff proposal slide, Dr.
10 Soinski's definition of useful energy, I think,
11 could use a lot of clarification.

12 The combined heat and power plant that,
13 say, has chilling, as well. To say that the
14 heat's used usefully if you put it through very
15 low efficiency absorption chillers and so forth, I
16 think kind of decreases the real value of combined
17 heat and power if you don't compare what you could
18 do with electric chillers and combined cycle gas
19 power plant or grid power and gas boilers.

20 So I would recommend that we clarify
21 useful as something other than made available for
22 use, and have more standards that within the plant
23 boundaries, if it's used for cooling or some other
24 major process load, that you combine the heating,
25 the cooling and the power, if it's a plant like

1 that. And compare that to the alternative with a
2 little more specifics.

3 PRESIDING MEMBER BYRON: Well, that's a
4 good discussion starter, thank you very much. Ms.
5 Barkovich.

6 DR. BARKOVICH: Thank you. I wanted to
7 speak about this specifically in the context of
8 bottoming cycle or waste heat recovery. Several
9 of us mentioned this this morning, but just to put
10 it in context.

11 One of the things that I think we need
12 to look at here is the fact that at least in a
13 waste heat recovery system, for example in a
14 bottoming cycle application for a cement plant, a
15 glass plant or other calcining technology, what
16 you're talking about doing is starting with an
17 existing industrial process.

18 Fuel goes into the industrial process,
19 which operates at high temperature. Waste heat
20 comes out. Part of that waste heat is reused to
21 preheat, et cetera, so you're attempting to use
22 the fuel as efficiently as possible.

23 But even once you finish that there's
24 still waste heat. That waste heat is capable of
25 producing electricity. And that's the

1 application, at least, that I'm talking about. So
2 you can call it bottoming cycle, you can call it
3 waste heat recovery.

4 It's not a matter of either producing
5 waste -- of not using the waste heat for
6 efficiency purposes -- before you have, you know,
7 you are using it for efficiency purposes to reuse
8 it, but you still have electrical output at the
9 end.

10 And the problem I have with some of
11 these definitions is that in this particular
12 context if you look at an existing application,
13 not a de novo inventing it for the first time
14 facility, but one that's efficient. In essence
15 the fuel that goes into making the product is the
16 same regardless of whether you produce electricity
17 or not.

18 And therefore, when you start trying to
19 divide up the idea of useful energy in terms of
20 the industrial process versus the electrical
21 production, it doesn't work very well. Because in
22 essence, you would be using the same fuel whether
23 you produce electricity or not.

24 And I had a presentation from another
25 purpose, I'm sorry I didn't bring it here today,

1 with pictures in it. But in essence what we're
2 talking about here is the straight use of waste
3 heat recovery.

4 And for that purpose I think really what
5 we're talking about is the fact that you either
6 get electricity or you vent the rest of the waste
7 heat. So it's a net productivity improvement, a
8 net reduction in greenhouse gas because the
9 electricity that's produced from straight waste
10 heat has no incremental CHP. It has no -- I'm
11 sorry, emissions, no incremental GHG. I'm sorry,
12 that's what I meant to say. Thank you. No
13 incremental criteria pollutants because basically
14 it's being produced with straight waste heat.

15 If you attempt to apportion the fuel
16 input to the electricity production separately
17 from the industrial process, I think it's a
18 misrepresentation of what's going on.

19 So some of these measurements I think
20 don't work so well in the case of bottoming cycle.

21 The other point I wanted to make is that
22 in the context of the representations stated
23 briefly earlier about matching the thermal and the
24 electric loads, it's not really relevant in the
25 context of bottoming cycle, because you have

1 what's essentially a thermal process that produces
2 waste heat that's used to make electricity.

3 You're not optimizing. In the case of a
4 topping cycle you're making tradeoffs between heat
5 and steam production and electricity production.
6 In the case of bottoming cycle you're not. It's
7 just a matter of adding onto an existing
8 industrial process and trying to get some extra
9 electricity out of it without increasing the fuel
10 input.

11 So I don't know if that was clear or
12 not, but we briefly alluded to this earlier this
13 morning. And I just wanted to clarify that, you
14 know, there's just differences in the technology
15 compared to the kind of tradeoffs between heat and
16 process steam production and electricity
17 production with topping cycle.

18 And we will attempt to, for the comments
19 on the 27th, try to say something about bottoming
20 cycle in the context of the legislation that
21 you're operating under.

22 I have been told that there was
23 certainly no anticipation of excluding bottoming
24 cycle because of the language in the legislation.
25 It may just be inexpertly worded.

1 The openly other point I wanted to make
2 is that if you look at the PURPA requirements for
3 cogeneration, the 42.5 percent requirement, you
4 know, that's been referenced in Dr. Soinski's
5 presentation, there is a separate section for
6 bottoming cycle that basically says that you don't
7 have to worry about the efficiency calculation for
8 bottoming cycle because --

9 PRESIDING MEMBER BYRON: Doesn't apply.

10 DR. BARKOVICH: -- it doesn't apply
11 because basically there is no fuel input that's
12 relevant.

13 So, --

14 PRESIDING MEMBER BYRON: Is there any --
15 thank you, Ms. Barkovich.

16 DR. BARKOVICH: I don't have the exact
17 reference, but I have it in my briefcase.

18 PRESIDING MEMBER BYRON: Is there any
19 dispute amongst those at the table or in the
20 audience about the fact that we would like to
21 recover and take benefit of bottoming cycle
22 energy? That there is essentially GHG reduction
23 opportunity there at no additional expense.

24 MR. SZAGNER: This is Joe Szagner. I'd
25 certainly agree --

1 PRESIDING MEMBER BYRON: Come on up from
2 the audience. You can -- there's another
3 microphone.

4 MR. SZAGNER: As long as you look
5 holistically at existing versus new installation,
6 if you have an existing installation and you're
7 just capturing that heat, well, that's a great net
8 benefit.

9 If somebody's designing a new system
10 then you would want to make sure that that's a
11 different case, that you designed it so as not to
12 produce that excess waste heat for the purpose of
13 power generation without meeting some standards.

14 PRESIDING MEMBER BYRON: Um-hum. Okay.
15 So, go right ahead. Go to the podium, if you
16 would, and just identify yourself. Be great to
17 hear from you.

18 MR. GRADY: Oh, yeah, I'm Will Grady
19 from Southern California Edison. I'm the guy that
20 collects all this data.

21 And as far as the bottoming cycle is
22 concerned, I think there is, if you example PURPA
23 you'll find there is a requirement if you
24 supplement your waste heat, and there is an
25 obligation.

1 I would suggest that for this purpose of
2 this legislation that we're trying to implement, I
3 think the intent was not to have someone have a
4 waste heat process and then fire a whole bunch of
5 downstream natural gas or coal or something just
6 so that they can make more steam to make more
7 electricity.

8 I think the intent was that if you have
9 ways to heat and you can make some electricity
10 from it, you're matching the waste heat with the
11 electricity you can make, and you're not adding
12 extra fuel just for the sole purpose of making
13 electricity.

14 PRESIDING MEMBER BYRON: Sure, I think
15 we all agree.

16 DR. BARKOVICH: I'm sorry, I neglected
17 to say that. I was referencing it without
18 supplemental firing. Clearly if there's
19 supplemental firing then there's supplemental fuel
20 associated with the electricity, and everything
21 that comes along with that.

22 MR. SZAGNER: This is Joe Szagner,
23 again. And I'd also add along those same lines if
24 there's a CHP that does have another renewable
25 fuel such as landfill gas or something, they may

1 be few and far between, that the process allows
2 for that, too. And affords it that same net
3 greenhouse gas treatment, because those things
4 would have otherwise gone to -- or biomass would
5 have gone, anyway, to the atmosphere.

6 PRESIDING MEMBER BYRON: Good. This is
7 a good discussion.

8 MR. DAVIDSON: This is Keith Davidson,
9 DE Solutions. I'd just go back to your 60 percent
10 overall -- comment -- right there? Okay.

11 Keith Davidson, DE Solutions. Going
12 back to the 60 percent overall efficiency
13 question. To me it's close enough. And I think
14 what's fully going to drive efficiency in the
15 future is going to be the economics.

16 And the economics are going to drive you
17 to higher overall efficiencies. And I would
18 suggest that we not spend the next six months on a
19 tangent trying to figure out whether it should be
20 60 percent or 62 percent or 65 percent.

21 MR. WONG: Yeah, Eric Wong with Cummins,
22 and also on behalf of the Clean DG Coalition.

23 I'm going to take a different tactic to
24 answer number one. I took the statute, AB-1613 as
25 declarative on this. I mean it's even in Art

1 Soinski's notes.

2 PRESIDING MEMBER BYRON: I did, too.

3 MR. WONG: And if there is a legal issue
4 here, or a statutory interpretation issue then I
5 would urge the CEC to write Assemblymember
6 Blakeslee. But, from my understanding how this
7 bill went through, it's a declarative statement
8 and we should end this discussion right now.

9 PRESIDING MEMBER BYRON: Oh, no, we're
10 not going to end the discussion.

11 (Laughter.)

12 MR. WONG: I mean let me just, in terms
13 of the debate, I guess I'm joining with Keith in
14 terms of why should we spend time trying to fine-
15 shave 60, 61, 68, whatever it.

16 Thank you.

17 PRESIDING MEMBER BYRON: I agree, Mr.
18 Wong. I agree. I read the statute the same way.
19 But nevertheless, I think it's a meritorious
20 discussion here, and Art brought it up.

21 Unless anyone has anything else to
22 contribute to that one -- yes, sir. Grab the
23 nearest mic or the podium, whichever is your
24 preference. The podium's nice; you can have your
25 own --

1 MR. WICHERT: I prefer a mic, but I
2 don't see an open mic.

3 (Parties speaking simultaneously.)

4 PRESIDING MEMBER BYRON: Have a seat.

5 MR. WICHERT: Okay, great. Robert
6 Wichert with the Fuel Cell Council.

7 I'm not going to continue the 60 percent
8 debate, but I am going to ask about useful, and
9 I'm going to remark that it could have been the
10 intent that the energy actually be used.

11 So when you compute your efficiency you
12 might look for used, not just useful. And that is
13 a significant change, as you know.

14 DR. SOINSKI: This is Art Soinski. One
15 of the things that somehow got out of my notes is,
16 is there a difference between used, useful and
17 utilized.

18 MR. WICHERT: I would say two are the
19 same, and one is different.

20 DR. SOINSKI: Well, right. And it's
21 really -- it has to do with defining the
22 boundaries. And this is one of the things I've
23 been struggling with. Is if you put all of your
24 thermal recovery outside of the CHP system box,
25 then you have two thermal flows.

1 You have what's a hot water or steam
2 flowing out, and you have cold water condensate
3 coming back.

4 What that doesn't tell you is what
5 happened between those two points of metering. I
6 mean you know the flows, you know the total Btus.
7 But you don't really know anything about the
8 efficiency of how that was used, and relates to
9 the question of, you know, what percentage,
10 Keith's point on the utilization.

11 And I'd like to have, you know, any
12 specific suggestions as to how that should be
13 phrased to reflect that. Because it requires a
14 lot more description on the thermal side of the
15 system than on the electrical side.

16 MR. WICHERT: If I can follow up? Is
17 that okay?

18 DR. SOINSKI: Please, yes.

19 MR. WICHERT: I'm thinking more along
20 the lines of thermal load factor. I'm not talking
21 about the efficiency of heat recovery. I'm
22 talking about when the thermal load exists on a
23 day-by-day 8760 hours per year basis. When does
24 that thermal load actually exist, and when is it
25 actually used. And to me that's a big difference.

1 DR. SOINSKI: Okay. And that's
2 measured, do you have the standard that defines
3 that? Because you're talking somewhat like an
4 equivalent electrical load factor, right? Which
5 is almost like a capacity factor, right?

6 So you're talking almost like a thermal
7 capacity factor?

8 MR. WICHERT: Well, you get to it in
9 your slide where you talk about the thermal
10 capacity should not be more than the maximum
11 thermal load. I think -- I was trying to read
12 from that slide --

13 DR. SOINSKI: That had to do with not
14 being a de facto wholesale generator. Right. I
15 mean, sizing to meet the thermal load.

16 MR. WICHERT: Okay, and it also says
17 that it shouldn't be smaller than the minimum
18 thermal load.

19 DR. SOINSKI: Right.

20 MR. WICHERT: So if you have no thermal
21 load on the 4th of July, then that's your minimum.
22 And if you have 1500 thousand Btus per hour on
23 Christmas day, that's your maximum thermal load.
24 So you have to be somewhere between zero and that
25 maximum.

1 But as the year goes by, some loads are
2 going to vary. Now some won't. I agree, some
3 won't. But some will. And so I'm suggesting you
4 might think about how much of that thermal is
5 actually used based on the site thermal load
6 versus how much is useful.

7 PRESIDING MEMBER BYRON: I'd also like
8 us to think in terms of not just how to -- as
9 regulators, here, but as end-use customers, right?

10 When I first read that minimum/maximum,
11 I thought in terms of gee, if I had a plant
12 where's my load growth, where's my opportunity to
13 increase the size of my production levels, those
14 kind of things.

15 I'd like to just caution us to think
16 beyond how regulators might think about this.
17 It's kind of an irony for me to say that, I
18 suppose, but -- are you finished with your point,
19 or do you have more that you --

20 MR. WICHERT: I just wanted to suggest
21 that Art think about it, not in terms of the
22 maximum amount that the plant can produce, but the
23 maximum amount that the site can use.

24 PRESIDING MEMBER BYRON: Okay.

25 DR. SOINSKI: Well, that was my

1 intention. Maybe it didn't come through in the
2 language.

3 MR. WICHERT: It didn't, to me.

4 DR. SOINSKI: Okay.

5 PRESIDING MEMBER BYRON: Keith.

6 MR. DAVIDSON: -- in the back here.

7 PRESIDING MEMBER BYRON: Come on up to
8 the podium, please. Go ahead, Keith, if you have
9 a comment that you want to make real quick.

10 MR. DAVIDSON: Well, I was just going to
11 follow up on Bob's remark. It's Keith Davidson.

12 And that is that a lot of the data that
13 you showed, Art, and that you showed, that showed
14 the very very poor efficiency combining power
15 systems, some of which were monitored.

16 A lot of those were people sizing a unit
17 based on sort of an average thermal load without
18 taking into account the diurnal fluctuations in
19 thermal that really do take place. And the, you
20 know, a lot of them have cooling in it, and they
21 kind of missed the boat in the shoulder months.
22 And wind up throwing a lot of the heat away.

23 PRESIDING MEMBER BYRON: Um-hum. We
24 have another commenter. Would you identify
25 yourself, please?

1 MS. CONLEY: Yes. My name's Lisa
2 Conley; I'm with Solar Turbines. We make gas
3 turbines from right in this range we're talking
4 about, the 5 to 20 megawatts. So we make -- get
5 involved in a lot of cogeneration systems.

6 But my concern is our definition on how
7 we're going to evaluate efficiency, and are we
8 going to get a little too detailed.

9 When you talk about useful energy I
10 understand what you're talking about, your box and
11 heat out and the feedwater, the condensation comes
12 back, you subtract that out. And that's your
13 useful thermal energy.

14 I'm hoping you're sticking to that. If
15 you would go out to a thermal site and start
16 taking the efficiencies of each of the pieces that
17 use the steam and take those out of the equation,
18 you're going to have a hard time meeting our
19 efficiency requirement of 60 percent. Those
20 systems are going to be a lot less.

21 Sixty percent higher heating value is
22 what, 68, 67 percent. Lower heating value on an
23 unfired gas turbine, 7 megawatts, 5 megawatts,
24 that's about what it will do.

25 When you duct fire that's when you start

1 seeing these 89, 90 percent efficiency systems.

2 But I think what this -- what you guys
3 are driving to is getting away from duct firing to
4 produce the steam, and oversize the system on the
5 electrical side, so you meet just your unfired
6 steam case. And now you're selling electricity to
7 the utility. That's what this is driving.

8 So we're getting away from the higher
9 efficiency cogeneration systems, because we're
10 getting rid of duct firing, because we're allowing
11 the cogenerators to export power to assume -- I
12 assume it's going to make money for them, or they
13 wouldn't do it.

14 But I don't know what kind of money
15 we're talking about. The SGIP, I don't know what
16 kind of money that'll bring to the cogenerators.
17 I don't know if it's the same incentive as before.
18 And that really, it's all going to be economic
19 driven, as, Keith, you were saying.

20 PRESIDING MEMBER BYRON: Ms. Conley, I
21 don't think we predetermined what the customer's
22 intentions are. If he's got excess electrons,
23 clearly it makes the economics much more
24 attractive if there's a place to sell them. Or --

25 MS. CONLEY: Well, he just would size it

1 less if, you know, he would -- duct fire --

2 PRESIDING MEMBER BYRON: But we're not
3 predetermining what the customer's interests are.
4 I mean I remember a project a number of years ago,
5 a customer was putting onsite generation because
6 they wanted to get rid of refrigerants. That was
7 a corporate goal.

8 So I think to predetermine or say what
9 we know what the customer's intentions are, a
10 little difficult to do here.

11 MS. CONLEY: Okay. Yeah, and I'm only
12 speaking for the typical industrial cogenerator.
13 That's all I can speak for. That user.

14 PRESIDING MEMBER BYRON: Okay. We've
15 got lots more questions. This is a good
16 discussion. Any more -- I was hoping we'd hear
17 from our utilities. Since I saw you over there
18 collaborating and discussing, --

19 (Laughter.)

20 PRESIDING MEMBER BYRON: -- I'm assuming
21 that you both agree that 60 percent is a good
22 threshold number, correct?

23 MR. WILLIAMS: Well, I think the
24 collaboration was more innocent than you may have
25 expected.

1 (Laughter.)

2 MR. WILLIAMS: I'm not an expert on CHP,
3 and so I was asking Marci to help me out
4 interpreting some of these slides.

5 So I just have a couple of comments,
6 been very illuminating for me. One is in terms of
7 greenhouse gas reduction -- I have two comments on
8 that.

9 One is from listening to Barbara talk it
10 seems like there may be a different expectation on
11 bottom cycling units in terms of greenhouse gas
12 reductions. If you are in the situation where you
13 otherwise would have just not used the waste heat.
14 Compared to topping cycle.

15 And I was just going back to page 12 of
16 the presentation that Keith put together, where it
17 looks very roughly at a 60 percent overall
18 efficiency, HHV. Like a push.

19 And so in terms of the expectations of
20 GHG reductions, topping cycle versus bottoming
21 cycle, I'm beginning to see that there could be a
22 difference.

23 And then the second is just from a
24 utility portfolio point of view. This is from a
25 utility point of view, this is basically a

1 baseload product. Right.

2 So what are we adding as a utility on
3 the baseload side, it's energy efficiency, it's
4 renewables, it's probably some -- as they get to
5 the end of the term, recontracting with cogen
6 facilities.

7 It's really not a combined cycle because
8 we're actually using that to shape and to help run
9 the system. A combined cycle for PG&E, at least,
10 is not going to run at 80 percent; it's going to
11 be a shaping resource, not really a baseload
12 resource.

13 So I know we're using it as a proxy for
14 our system, it may not be actually the best proxy.

15 MS. BURGDORF: Marci Burgdorf, Southern
16 California Edison. On the 60 percent efficiency,
17 we view that as a starting place for us. The
18 state should, you know, always be looking at how
19 we can advance the technology and how we can
20 advance the systems moving forward.

21 So, you know, having a target of a
22 higher efficiency is something we should always be
23 considering, 60, 65, 70 percent. You know, 60
24 percent right now, what we're seeing is that a
25 combined cycle gas turbine, some of them are very

1 close to reaching that level. So keeping that in
2 mind and taking that into consideration.

3 And if we're really trying to reduce GHG
4 emissions and get reductions we've got to be
5 looking beyond that at some point.

6 And my second point is on this made
7 available for use for the steam. I think making
8 sure that there's actually a legitimate need for
9 the steam, and making sure that there's some
10 useful output or use for the thermal output. And
11 that that's being, maybe that's part of the
12 monitoring, but making sure that there is actually
13 a need for the steam, we're not creating a need
14 for the steam just to have CHP. And that it's
15 being used in a manner that is consistent moving
16 forward.

17 PRESIDING MEMBER BYRON: We're never
18 going to get off this topic, I can see. But, Ms.
19 Burgdorf, wouldn't you agree though, 60 percent is
20 a good starting point? I mean really the goal
21 here is to try and reduce GHG, and it can't all be
22 utility generation. The ARB's looking for a
23 significant contribution from this sector.

24 So do you agree that 60 percent is a
25 good starting point, so that we can fulfill the

1 requirements of 1613 here, AB-1613?

2 MS. BURGDORF: I think it's a starting
3 point to, yes, address that AB-1613 legislation.
4 Addressing the GHG moving forward under the CARB
5 scoping plan, based on the calculation, I don't
6 think the 60 percent will get us to those
7 reductions.

8 PRESIDING MEMBER BYRON: It should be
9 lower, then?

10 MS. BURGDORF: Ha, ha, ha.

11 PRESIDING MEMBER BYRON: I mean we're
12 also --

13 MS. BURGDORF: Should be higher, it
14 should be in the 70 percent range.

15 PRESIDING MEMBER BYRON: Yes, but then
16 we may be limiting the number of projects that
17 will come forward at that higher percentage,
18 correct?

19 MS. BURGDORF: Right, but again, the
20 goal is to reduce emissions, right? I mean, the
21 goal is to be achieving --

22 PRESIDING MEMBER BYRON: It's number of
23 projects -- it's megawatts time is going to
24 provide the emissions reductions. If we set a
25 goal that's too high and there's no projects, then

1 we haven't reduced GHG.

2 MS. BURGDORF: Well, again, it depends
3 on the efficiency of the systems, themselves. I
4 mean fuel use --

5 PRESIDING MEMBER BYRON: Don't you agree
6 that the comparison --

7 MS. BURGDORF: -- fuel use is --

8 PRESIDING MEMBER BYRON: -- the analysis
9 that Keith just showed us is a reasonable
10 comparison of utility efficiency versus CHP?

11 MS. BURGDORF: Right, and his comparison
12 was against Edison's existing fleet of
13 cogenerators. If you're -- we're talking about a
14 lot of variable systems.

15 PRESIDING MEMBER BYRON: No, I thought
16 the comparison was against a number of new --

17 MR. DAVIDSON: He's getting us mixed up,
18 talking -- Don --

19 PRESIDING MEMBER BYRON: Oh, I'm sorry.
20 Yes, I am. Mr. Schoenbeck. Don't you agree that
21 the comparison that he showed was against a number
22 of new efficient combined cycle plants, and high
23 efficiency CHP plants? That the comparison was
24 apples-to-apples?

25 MR. SCHOENBECK: His last two slides had

1 that new vintages.

2 MR. GRADY: The first time we've seen
3 it, we need to look at it closely.

4 MS. BURGDORF: Yeah, I'm not sure what I
5 can deduct from his one slide up there. But,
6 again, I just want to get back to the point of,
7 you know, improving efficiency should always be
8 what we're looking for.

9 If we're looking to forward and advance
10 the technology, if we're looking to forward
11 emissions reductions, efficiency is directly tied
12 to that. That's what we should be looking at.

13 PRESIDING MEMBER BYRON: Okay.

14 MR. COLLORD: Let me ask the --

15 PRESIDING MEMBER BYRON: Hang on one
16 second, Art --

17 MS. KELLY: Can I bring this --

18 PRESIDING MEMBER BYRON: -- Mr.
19 Collord's been --

20 MS. KELLY: Do you want me to bring this
21 slide up?

22 PRESIDING MEMBER BYRON: That's all
23 right; we'll skip over it. I don't think we're
24 going to get any resolution on that.

25 Mr. Collord has a question.

1 MR. COLLORD: Thank you. And I hate to
2 complicate this further, but I'm wondering whether
3 AB-1613 precludes having a lower efficiency
4 standard for certain kinds of CHP systems that
5 perhaps don't qualify for the proposed feed-in
6 tariff, whatever that's going to be. But perhaps
7 we have a two-tiered feed-in tariff for systems at
8 a lower efficiency.

9 Especially to deal with, you know,
10 bottoming cycle projects or projects that are
11 making use of waste gas from the oilfields or some
12 other source.

13 As I read it, I don't think there's
14 anything that precludes having more than one
15 efficiency standard or feed-in tariff for CHP.

16 MR. COLVIN: Just to follow up on that,
17 I have a separate comment that I'd like to make
18 later, but just to follow up on that, you're
19 right, there's nothing stopping us from having
20 multiple tariffs being designed. It sort of gets
21 away from the elegance of having one feed-in
22 tariff.

23 I apologize; for the court reporter,
24 this is Michael Colvin from the CPUC.

25 I believe the efficiency level is a

1 floor, though. And I don't think -- I think it
2 will be very very hard for us to reach below that
3 level.

4 I think there might be ways where it
5 makes sense for us to define things in a way that
6 we can still maintain the equivalency of that
7 efficiency level, but have it apply, for example,
8 to the bottoming cycle case. Or to a waste gas
9 recovery case. Or a couple of the other kind of
10 cases that I think socially we want to make
11 certain are there.

12 But I don't think we're going to be able
13 to say, okay, here's one tariff for 60 percent,
14 and here's one tariff for 50 percent. I don't
15 anticipate that that's the direction that either
16 of the Commissions are headed in.

17 MR. LEMEI: This is Galen Lemei with CEC
18 Staff. And I just wanted to say that my
19 interpretation of the statute, as written, is
20 entirely consistent with Michael's.

21 I don't --

22 (Laughter.)

23 MR. SPEAKER: You're an attorney --

24 MR. SPEAKER: Wow.

25 MR. LEMEI: I think it's pretty clear

1 that the language, as written, anticipates 60
2 percent being a floor. The flexibility that we
3 have is in -- to the extent that we have any
4 flexibility is in determining what the numerator
5 and what the denominators are. And in calculating
6 that fraction. And that's, as I understood it,
7 pretty much what Michael was saying.

8 But in terms of expressly under the
9 current, you know, AB-1613 framework of --
10 existing framework, I don't think that we have the
11 flexibility to establish a tariff for facilities
12 that we are deeming to be less than 60 percent
13 efficiency.

14 PRESIDING MEMBER BYRON: All right.
15 Thank you for that.

16 Mr. Williams, did you want to add
17 something?

18 MR. WILLIAMS: Sure. I could cover it
19 also in the next question, but this may not be
20 what the ARB intended. I'm back again on the
21 issue of emissions reductions.

22 And, you know, clearly CHP has an
23 industrial application as well as send electricity
24 to the grid. So, when you think about, well, what
25 would you have done otherwise, you might be

1 looking -- you might look also at the industrial
2 sector. With a new CHP what would have happened
3 otherwise? There may be some emissions reductions
4 that actually come out of that sector for the 6.7
5 million metric tons. Maybe they don't all come
6 from just selling excess electricity to utilities,
7 particularly given the portfolios of the IOUs.

8 So, just maybe another way of trying to
9 reframe how do you really count to get to that 6.7
10 million metric ton reduction.

11 MR. COLVIN: Again, Michael Colvin from
12 the CPUC. I wanted to go back to a point that
13 Marci Burgdorf made from SCE a few moments ago,
14 talking about making certain that there isn't an
15 actual heat need for the facility.

16 At least, in my view, I feel like it's
17 very important for the Energy Commission as
18 they're determining their guidelines, to be making
19 certain that the efficiency levels are being met.

20 But in terms of application of those
21 efficient technologies, it seems to me that's much
22 more in the realm of the tariff design, and not in
23 the technical guidelines. And not to say that we
24 shouldn't have that conversation or should or
25 should not. I don't think I'm particularly

1 interested in having the PUC going out there and
2 saying, okay, did you really need that heat, or,
3 you know. It seems a little --

4 DR. BARKOVICH: "Big Brother"?

5 MR. COLVIN: -- I will use Ms.
6 Barkovich's term -- "Big Brother". But I think
7 just for the purpose of what the conversation of
8 what Art Soinski has to go out and do over the
9 next couple of months, really figuring out how do
10 we determine minimum efficient levels in an
11 appropriate way. But I don't want us getting into
12 the conversation of, well, we can use it for, you
13 know, a commercial swimming pool, but not a
14 residential swimming pool. Or we can use it for
15 this, but not for that.

16 I don't think that's where the
17 conversation needs to be headed. And I don't know
18 if that's what you were intending or not, but
19 that's what I was hearing. So I wanted to be very
20 clear.

21 MS. BURGDORF: Yeah, point taken.
22 That's not what I was intending. I was just --

23 MR. COLVIN: Okay.

24 MS. BURGDORF: This made available for
25 use is very ambiguous, and I --

1 MR. COLVIN: I wholeheartedly agree.

2 MS. BURGDORF: -- think that really
3 needs to be defined.

4 PRESIDING MEMBER BYRON: Mr. Szagner.

5 MR. SZAGNER: Hi, this is Joe Szagner,
6 again. It's difficult to know if 60 percent helps
7 or hurts the greenhouse gas cause.

8 Under an increasing electricity demand
9 from the state, one might think that if new
10 generation is developed it might displace new
11 generation that would otherwise be developed on
12 the grid.

13 And so one might tend to compare the
14 efficiency of a lot of cogeneration plants, say
15 500 megawatts worth, versus using 85 percent
16 thermal production at those sites, and a 500
17 megawatt grid plant, and one could take
18 transmission, and so forth.

19 However, if we knew under that
20 increasing electricity demand and declining
21 greenhouse gas cap, what the end-game target is,
22 what for this sector the average carbon content
23 per megawatt hour needs to get to by 2020 -- and
24 we really need to look beyond that, too,
25 unfortunately, because these plants have a life a

1 lot longer than ten years -- we might be better
2 informed to know.

3 If it turned out that we needed 900
4 pounds per megawatt hour as our average generation
5 portfolio to get to our goals, that might inform
6 that, hey, anything that meets or beats that is
7 good, because it won't have the risk of displacing
8 more efficient generation.

9 And the other thing is while a number of
10 points have been made comparing a lot of the
11 inefficiency of the existing grid power plants, I
12 don't see the cause and effect.

13 If we install a new combined cycle
14 plant, I don't know how that takes offline a
15 10,000 heat rate, or a 12,000 heat rate plant. I
16 don't understand the cause and effect that if we
17 have something bad and we replace it with
18 something that's say, average, if that gets us to
19 our goal or not.

20 We don't even know that it will even
21 take that other plant off the grid, given that we
22 have a growing demand, rather than supplant new
23 generation.

24 So I'd like to explore what the thoughts
25 are there, the theories. But in lieu of that, we

1 at least need that end-game standard. Maybe that
2 will drive it.

3 So it's pretty hard to know whether this
4 actually would help or hurt in the end game.

5 PRESIDING MEMBER BYRON: Yes. Mr.
6 Collord, you have 30 seconds.

7 (Laughter.)

8 PRESIDING MEMBER BYRON: It's a
9 difficult --

10 MR. COLLORD: Yeah, I don't know. I'm
11 thinking I should refer to Dave Mehl. He's kind
12 of the energy-neer in our unit, and probably has a
13 better sense of that question.

14 PRESIDING MEMBER BYRON: It's a very
15 difficult thing to answer. I mean there's a lot
16 of effort going on over at the ARB. I'm not going
17 to attempt to speak for them, but I know it's not
18 an easy answer. We could spend a lot of time on
19 that. But it's a good question, good question.

20 MR. SZAGNER: Well, I know from -- the
21 EPA -- they have a full list and I assume that the
22 folks in the state do, of all the generating
23 plants in the state. We know how many megawatt
24 hours are coming out of them; we know how much
25 carbon we're getting from them.

1 So, in projecting demand and trying to
2 anticipate what might be built or what we might
3 need to get to. I know it's going to be some
4 work, but it seemed at least the data's there to
5 be able to arrive at something a little more
6 numerical, I guess, or quantitative.

7 I don't know if that's possible, but it
8 would really help us all know what the real target
9 needs to be.

10 And I just want to add that I agree with
11 Marci that we should build into the future, not
12 out of the past. You know, technologies,
13 efficiencies of new power plants likely will keep
14 going up.

15 And so I agree that maybe standards, if
16 you set them now, the implementation allows that
17 they increase. So maybe every two, three, five
18 years or at some important point we change the
19 assumed standards of the alternatives, you know.

20 What must we assume for boiler
21 efficiency and grid power plants. And then maybe
22 the standards for CHP to be better than that have
23 to change over time with them. So maybe we just
24 don't pick one fixed number now, but have a
25 process that allows a best available control

1 technology type process that moves with it.

2 PRESIDING MEMBER BYRON: Yeah, I get
3 your point. A couple gentlemen have comments over
4 here. Mr. Schoenbeck.

5 MR. SCHOENBECK: There's the answer to
6 your question, you know, that's doing a production
7 costing relation model run such as what Oregon did
8 with the Aurora model.

9 But if the Aurora model's the entire
10 WECC model, you can run the entire west coast. It
11 has emissions for every unit, so you can determine
12 how much carbon is emitted for whatever scenario
13 path you want to go down.

14 But I guess where it is for me, that's a
15 very complicated analysis. It requires all kinds
16 of forecast assumptions you have to build into it.

17 But when we're talking that a current
18 best available control technology in the plants
19 that are being built in this state is around 52
20 percent on an HHV basis, in my mind you can get
21 the greenhouse gas reductions with the 60 percent
22 HHV overall total efficiency standard, I believe,
23 in most cases.

24 There may be some assumptions because of
25 thermal needs where you may not get it. But I

1 would certainly think in most cases it would be a
2 net reduction in greenhouse gas versus what's
3 being built now.

4 MR. SZAGNER: Well, 60 percent overall
5 efficiency out of the CHP is equivalent to about a
6 46 percent combined cycle plant, just for
7 referencing. That's at balanced thermal and
8 electrical loads.

9 MR. SCHOENBECK: Yeah, but I went beyond
10 the 60. Basically what I'm referring to all the
11 state of the art CTs gas turbines are on now. You
12 know, what you said, they're all in the 66 percent
13 range. So that's what I meant by best available
14 technology, that's what's there.

15 PRESIDING MEMBER BYRON: Mr. Davidson,
16 do you agree?

17 MR. DAVIDSON: He covered it.

18 PRESIDING MEMBER BYRON: Okay. Covered
19 it. In the interest of time, because we have
20 spent a lot on this question, let's see how
21 quickly we can move on to some of the other
22 questions.

23 MS. KELLY: You might want to skip
24 number two.

25 (Laughter.)

1 MS. KELLY: The next question is really
2 just along the same line. We've sort of covered
3 some of it. We're looking at is 60 percent the
4 right amount for AB-1613, or is there another
5 number like 65 that would give the most greenhouse
6 gas reductions for all CHP, or is the number
7 lower?

8 Does anybody want to add anymore? I
9 think I've heard that 60 percent may be a good
10 starting point. There's certainly a lot of other
11 efficiencies that other people say the state
12 should consider. But we have certain limitations
13 within 1613, but I think that's the general
14 message.

15 And so, add to that? Yes.

16 MR. WILLIAMS: One sentence only.

17 PRESIDING MEMBER BYRON: Please.

18 MR. WILLIAMS: We would support
19 exploring size-differentiated efficiencies. We've
20 thought about that a little bit.

21 MR. SPEAKER: Would you repeat, that
22 didn't come through.

23 MR. WILLIAMS: I'm sorry. This is Ray
24 Williams, PG&E. And we have thought about it a
25 little bit. And we would consider or think it may

1 be worth considering size-differentiated
2 efficiencies, or --

3 PRESIDING MEMBER BYRON: Meaning smaller
4 units have lower efficiency thresholds?

5 MR. WILLIAMS: That may be the way it
6 turns out. I'm not an expert, but that could be
7 the way it turns out, yeah.

8 PRESIDING MEMBER BYRON: So why would
9 size make a difference to what we're talking about
10 here?

11 MR. WILLIAMS: I know that there's a
12 whole host of technologies out there. I'm looking
13 behind me to my expert if he wants to add
14 anything, to Chris. And there's a whole host of
15 thermal applications.

16 And when you run through all that, it
17 may make sense to look at standards on a size-
18 differentiated basis. We're just open to it,
19 that's all.

20 PRESIDING MEMBER BYRON: All right.

21 MR. SCHOENBECK: This is Don Schoenbeck.
22 Quick clarification, Ray. Are you talking about
23 less than 20 megawatts? You'd do size
24 differentiation between up to 20 megawatts, zero
25 to 20?

1 MR. WILLIAMS: Yeah, possibly within the
2 zero to 20 megawatt range.

3 MR. SCHOENBECK: Okay, thank you.

4 MS. KELLY: Any other comments on that
5 question?

6 PRESIDING MEMBER BYRON: Art.

7 DR. SOINSKI: Art Soinski. One of the
8 reasons I went through the history of the SGIP,
9 and I meant to say, maybe I didn't, or maybe
10 people didn't pick it up, is if you look at it
11 like every three years there's a new law. And
12 there's a new law in the hopper right now, in
13 fact, relating to the SGIP program with respect to
14 efficiency and technologies that get covered.

15 The reason I came down on the 60 percent
16 side is for two reasons. One is my expectation
17 that the administration of the program or
18 legislation would potentially change it, if, in
19 fact, it turns out that 60 percent is not giving
20 us greenhouse gas reductions, or is not giving us
21 CHP.

22 And the other is that beginning in, I
23 believe, 2011 the ARB is supposed to make
24 recommendations to the Legislature and the
25 Governor with respect to success in meeting

1 greenhouse gas mitigation goals.

2 And because of the fact that the
3 electricity sector is such an important part of
4 the greenhouse gas mitigation, my expectation
5 would be that the ARB would be making
6 recommendations to the Legislature and the
7 Governor concerning any deficiencies that they see
8 in the program with respect to greenhouse gas
9 reductions.

10 So, that's why -- I mean I think that 60
11 percent is a reasonable number going forward,
12 because it's not something that is set in stone.
13 And I really don't see that we're going to get the
14 gold rush of thousands of megawatts of CHP in the
15 next year or two with that efficiency level.
16 Because there are other requirements, the
17 interconnection, the NOx emissions, if it stays in
18 the forecasting requirements and insurance
19 requirements and the tariff, which may limit some
20 of the small size.

21 So I think there's a lot of factors that
22 could be conspiring, in fact, against a lot of
23 CHP. And even at 60 percent.

24 MR. SZAGNER: This is Joe Szagner,
25 again. Just one comment on number two, then.

1 While the 60 percent is one standard, one of the
2 other standards proposed is a certain percentage
3 above alternative, so above the SHP.

4 And to be able to synch those, those
5 expectations, would be good. Because if, for
6 instance, we take 5 percent better than an SHP
7 alternative, you have to decide what the
8 alternative grid fired plan is.

9 And if we have testimony or other things
10 that say it's 50 percent, say, or 52 percent, by
11 the time you add an 85 percent boiler, well, that
12 standard's going to force your cogen to be at 65,
13 67 percent.

14 So if the intent really is to drive the
15 60, I'd just say that maybe that 5 percent above
16 alternative, you have to have some mechanism of
17 fixing the standard assumption grid power, the
18 competing electric power, so that you get that
19 desired outcome at whatever percent you want.

20 Because otherwise you go in with the
21 hope of 60, but then somebody says, I can build a
22 55 percent high heating value plant. You have to
23 assume that. That's going to drive you to 71
24 percent, and you're not going to be able to get
25 that 60.

1 So, some way of linking those more
2 strongly might be advisable to what your outcome
3 is that you want.

4 PRESIDING MEMBER BYRON: Okay, well,
5 there's at least two or three other factors that
6 come into this, as well. Remember we're also
7 talking about those new central power plants that
8 you compare to oftentimes in the new additional
9 transmission systems associated with them.

10 MR. SZAGNER: Right.

11 PRESIDING MEMBER BYRON: There's also
12 the private capital aspect of this, which is lower
13 risk for the investor-owned utilities' customers.
14 So there's other factors that come into play here,
15 too. So we may not get the percentage exactly
16 right. We're trying to make it neutral, if you
17 will, so that the utilities don't continue to
18 appear as though they're obstructing CHP from
19 going forward.

20 Right, Mr. Williams?

21 MR. WILLIAMS: Yes.

22 (Laughter.)

23 MR. SZAGNER: Yeah, I got you. I wasn't
24 speaking of the standard, itself. Just that you
25 have the two tests. Its own efficiency and the

1 efficiency alternative. And you might want to
2 link those so you get the same outcome, whatever
3 that value might be.

4 PRESIDING MEMBER BYRON: Okay. Any more
5 on this one? Mr. Wong.

6 MR. WONG: I'll be very brief. I want
7 to answer number two, I understand it interties
8 with number one.

9 I once -- and it really comes down to do
10 we do a command and control regulatory government
11 approach, which is, I think the two individuals,
12 Marci and Joe, is it? Saying we should build in
13 higher efficiency numbers in here.

14 I've been a regulator both the federal
15 government, USDOE, and for the Energy Commission.
16 And I've been on the other side selling. And I
17 want to give you an end-use perspective.

18 I think there's several people in this
19 room in the audience that have actually sold this.
20 And I'm going to speak, at least share with you
21 the market-driven aspects of this.

22 Keith touched upon the economics. The
23 more efficient units are going to give you better
24 economics. So I made a presentation to a packing
25 firm in the central valley. I had three things I

1 could sell. Microturbines, engines and Kawasaki
2 gas turbine.

3 I picked the best one. I ended up
4 losing this opportunity to solar turbines, and
5 Lisa Conley, if you're still here, --

6 (Parties speaking simultaneously.)

7 MR. WONG: -- she went out, okay. They
8 had a better package. And they were able to offer
9 better savings. So the market was driving this.
10 I was competing against everyone else, they were
11 competing against me.

12 The other thing that has come into this
13 whole thing with the Air Resources Board, the
14 focus is on greenhouse gas reductions, now so much
15 in the megawatts, at 4000 megawatts. I'm going to
16 try and get the most efficient unit out there to
17 get even better, I mean better in terms of CHP
18 credits, or greenhouse gas credits.

19 And maybe the owner, the end user, can
20 sell that. You know, I don't know what scheme is
21 going to be developed from cap-and-trade. But,
22 again, the market is driving this.

23 So, I'm going to speak out against
24 regulatory situations here of a command and
25 control, which have built up over time. The

1 market will take care of this. I mean I can
2 personally attest to that.

3 PRESIDING MEMBER BYRON: Right. And it
4 also ignores what the customer's interests might
5 be, too. There are other reasons to do onsite
6 generation.

7 MR. WONG: Correct.

8 PRESIDING MEMBER BYRON: Okay. I'm
9 looking around hoping we can continue. Ms. Kelly,
10 okay.

11 MS. KELLY: Question three. Is the
12 previous self generation incentive program, which
13 Art talked about this morning, when it still
14 covers CHP systems pre-January 1, 2008, an
15 appropriate model for documentation requirements
16 on the proposed CHP system and all thermal system
17 equipment, electrical and thermal output,
18 performance and emission estimates, and CHP system
19 design specifications and forms? Why or why not?

20 PRESIDING MEMBER BYRON: That's a long
21 question.

22 MR. COLVIN: Michael Colvin from the
23 CPUC. Again, I think the self -- I touched on
24 this, I believe, in the morning, but the self
25 generation incentive program was very much an

1 upfront payment, and did not pay per performance.

2 And that's a really important
3 distinction, I think worth making, when you're
4 talking about these technical guidelines. And the
5 guidelines that were in the SGIP program, I think,
6 reflected that.

7 So I think it's one just kind of very
8 important distinction worth making. Especially
9 when it comes to performance and emissions
10 estimates.

11 PRESIDING MEMBER BYRON: Of course, this
12 really has to do with, you know, is this the right
13 documentation --

14 MR. COLVIN: Right, I understand. But
15 I'm kind of wanting to make certain, for Art's
16 sake, as far as, you know, the handbook that was
17 developed, as far as the process that was
18 developed, I think it's now a fairly good system.

19 I think we have a couple of lessons
20 learned from the Energy Commission's New Solar
21 Homes program and from our CSI program that might
22 have improved upon that process a little bit. And
23 if you're looking for a second model I might also
24 look at that for the actual documentation process.

25 If you're focused on the documentation

1 process, I would, you know, look at both of --
2 look at SGIP, but then also look at the 2.0, if
3 that's what CSI new solar homes program actually
4 was.

5 PRESIDING MEMBER BYRON: Okay, thank
6 you. Mr. Davidson.

7 MR. DAVIDSON: Keith Davidson. I filled
8 out several of those forms. And I think the, in
9 my opinion, the part of it that really is the
10 weakest is justifying the thermal load.

11 You go through and the form has you put
12 monthly gas usage. And then they calculate out
13 the cogen system that you supply, and say, all
14 right, how much per month would that thing
15 produce.

16 And it does not reflect, doesn't take
17 into account, doesn't make anybody think about
18 what the diurnal variations are between thermal
19 storage, if there's some weekly variations.

20 The whole thermal side of it, I think,
21 needs to be a little bit more rigorous and make
22 sure people are thinking about that.

23 And then, you know, go to Ray's point.
24 I think it would be -- there are questions in
25 there now, I think, that deal with plant

1 modifications plan, plant expansions plan, that
2 kind of thing. So there's already those kind of
3 questions.

4 But I don't remember seeing any
5 questions about what else have you done energy
6 efficiency-wise, and what other energy efficiency
7 things have you looked at. That might be
8 something good to add to the SGIP form if it's not
9 there already. I don't think it is.

10 MR. WICHERT: Robert Wichert again. I'm
11 back on slide 14, Art, and I think that you're
12 going to need to add something to take this annual
13 data. Unless I'm -- I may not know, but it looks
14 here like you need the annual kilowatt hours and
15 the annual Btus that are actually used by the
16 process. And then there would be some ratemaking
17 incentive that if you didn't meet this 42.5
18 percent, that you would actually be penalized
19 somehow. That's the way I read this.

20 DR. SOINSKI: Well, I did talk about a
21 penalty.

22 MR. WICHERT: I know, but there was some
23 discussion in another presentation, I think, about
24 a penalty. Today, not from you, obviously.

25 MS. KELLY: Okay.

1 MR. SCHOENBECK: This is Don Schoenbeck.
2 Penalties, just to clarify in my mind, ultimately
3 these systems are going to have some sort of a
4 contract. And I think you have to harmonize the
5 terms and conditions of the contract with the
6 program and the products being offered.

7 Under the energy division's strawman's
8 contract here, if it was assumed this was all
9 going to be as-available power, there's going to
10 be no firm power for the surplus sales.

11 And so I think the nature of a potential
12 penalty in that instance, when what's being
13 delivered is an as-available product, may not be
14 consistent.

15 So I think ultimately when it comes to
16 terms of the contract that's offered under this
17 program for the surplus power and the performance
18 should be linked in some way.

19 And I'm not sure, penalty for deliveries
20 under an as-available product is appropriate.
21 Something we need to think about some more.

22 MR. WICHERT: I apologize for bringing
23 that up. This isn't the right forum for that.
24 But it sounds here like on slide 14 that you want
25 somebody to meet the 42.5 percent or else. Or

1 else what, --

2 DR. SOINSKI: Correct.

3 MR. WICHERT: -- I don't know.

4 PRESIDING MEMBER BYRON: Well, I imagine
5 they wouldn't qualify for the feed-in tariff.

6 MR. WICHERT: Well, it sounds like it's
7 an ongoing demonstration that you, in fact, meet
8 it.

9 DR. SOINSKI: And the question, again
10 that's where you get into the whole issue of
11 compliance plans. And the issue of self
12 certification versus somebody going back and
13 checking.

14 The problem I have is if you have
15 certain requirements and the expectations that
16 you're getting a benefit presumably. Right? And
17 I think one of the big benefits that the owner
18 gets is the ability -- the design flexibility and
19 operational flexibility that comes with the
20 ability to sell excess electricity.

21 And so to my mind, with that there's
22 also some obligations. And the legislation has
23 said, you know, we're setting up this program;
24 however, you have to meet certain requirements.
25 What happens if you don't? Right?

1 I mean, if you -- so it's --

2 MR. WICHERT: Or else.

3 DR. SOINSKI: Well, I guess what is, I
4 don't know, what would be the -- I mean, to my
5 mind, what I proposed was somewhat of a fair
6 alternative, which would not be onerous, and would
7 not result in a plant being shut down and a
8 contract being abrogated because of
9 nonperformance.

10 DR. BARKOVICH: I think, though, that
11 Don raised an interesting point, which is --
12 actually, to make it clear my clients intend to
13 use any power they produce onsite. They're not
14 planning on selling. I'm just involved in this
15 because I'm trying to --

16 PRESIDING MEMBER BYRON: Right, all
17 customers' interests are different.

18 DR. BARKOVICH: Right. Just to make
19 that clear. But it seems to me that what people
20 have said is true. You may have an application
21 where at times you have surplus and at times you
22 don't. So you're not engaging in a firm contract
23 to sell a fixed amount. But it really is as-
24 available power.

25 And I understand that you have to meet

1 an efficiency requirement, just like people have
2 to demonstrate they made the PURPA efficiency
3 requirement.

4 But, I agree, and this has nothing to do
5 with me, but the concept of having a penalty for
6 as-available is tricky. You should have to make
7 your as-available -- I mean you should have to
8 meet your efficiency requirement, but whether or
9 not you produce power is just going to be a
10 function of -- or whether or not you sell power is
11 going to be a function of whether you have any to
12 sell.

13 So, somehow we have to, you know, you
14 have to meet your efficiency requirement, whatever
15 it is, because that's your requirement. But, I
16 don't know that you can link it to how much you
17 have to sell at any given time, because there
18 probably, I would assume there'd be two different
19 -- essentially two different kinds of contracts.

20 PRESIDING MEMBER BYRON: Okay. Mr.
21 Williams, when you talked about penalties, he got
22 interested.

23 MR. WILLIAMS: Always. I know, maybe to
24 your surprise, largely agree with Barbara. That
25 an as-available product is not a product that you

1 should be penalized for if you don't happen to
2 deliver on a particular day. That's the nature of
3 an as-available product. It should be priced
4 appropriately.

5 But with respect to meeting a certain
6 efficiency standard, that needs to be addressed.
7 I don't know whether if you don't, what the
8 consequences are; whether that should be addressed
9 here or whether that should be addressed in the
10 context of the contract supporting the feed-in
11 tariff; an open issue.

12 And, again, this is a theme of ours. I
13 think you could look at this to some degree on,
14 again, a size-differentiated basis where the
15 contract or the penalty maybe is less onerous for
16 very small facilities, and the cure period could
17 be longer, you know. There may be some size
18 differentiation with respect to that, as well.

19 MR. COLVIN: Michael Colvin from the
20 CPUC. Just to quickly follow up on that. It
21 would at least be my very strong preference-slash-
22 very strong guess that any talk of penalties or
23 noncompliance would be addressed more in the terms
24 of the contract, and not in terms of the technical
25 guidelines.

1 Art had a very, I think again,
2 interesting idea on the last bullet point on slide
3 22 of his morning presentation. And I don't want
4 to say yes or -- I don't want to put any weight on
5 that or not, but I don't think that's the kind of
6 thing that you would want built into a technical
7 guideline. I think that's the kind of thing you
8 would want built into the terms and conditions of
9 a tariff. But that's at least my read of it.

10 MR. LEMEI: This is Galen Lemei from the
11 CEC. I wanted to actually, I was about to say
12 exactly what Michael just said. I'm not sure how
13 the conversation got focused on penalties.

14 I understood Art's suggestion as part of
15 the total regime, if you will. But that might be
16 a way of addressing it. And obviously our
17 guidelines are going to go hand-in-hand with the
18 tariff contract.

19 But I would think that the question of
20 penalties that solve, at least in my concept,
21 would be formally addressed in the context of the
22 tariff, if that were the appropriate -- if that,
23 indeed, were the appropriate approach.

24 So, just from my perspective.

25 MS. BURGDORF: If I could make a quick

1 comment. This is Marci Burgdorf with Edison.
2 We're going through contract negotiations over the
3 next two days with all parties, so feasibly that
4 will be addressed at some level in those
5 negotiations.

6 In terms of enforcement I think along
7 the lines I was thinking the technical guidelines
8 and that there would be some remedies for if the
9 generator wasn't meeting the efficiency level
10 under the tariff in terms of ineligibility. And
11 that there would be some remedy to make them whole
12 again, or make them whole at the utility again, in
13 terms of deliveries.

14 MR. LEMEY: This is Galen, again, with
15 the CEC. If you don't mind me asking, what -- so
16 you weren't submitting that our technical
17 guidelines would have some kind of an enforcement
18 remedy for breach of the obligations, as opposed
19 to having that be a contractual issue? If that
20 was what I understood you to say.

21 MS. BURGDORF: I mean I'm talking in
22 terms of efficiency, so if they aren't meeting the
23 efficiency requirements, if there's some guideline
24 built in. There could be something in the
25 contract, but there'd be something in the

1 guidelines in terms of monitoring and
2 verification. That's where I'm going in terms of
3 remedies, --

4 MR. LEMEI: I understand.

5 MS. BURGDORF: -- not penalties for
6 nondelivery.

7 MR. COLLORD: Gary Collord with the Air
8 Resources Board. I was just going to mention
9 that, you know, to me this question is very
10 difficult to answer, as well as the previous two,
11 because we've had no discussion of really what
12 we're hoping to accomplish under AB-1613 in terms
13 of adding additional CHP capacity, or achieving
14 greenhouse gas reductions.

15 And from ARB's perspective, that's
16 probably the most important discussion we should
17 have.

18 PRESIDING MEMBER BYRON: I thought our
19 target was the scoping memos GHG reduction for
20 this sector of combined heat and power.

21 MR. COLLORD: Well, if you look at the
22 scoping plan measure for CHP it relies heavily on
23 Assembly Bill 1613 for achieving the objectives.

24 But as far as I know there's been no
25 connection made at the PUC or the Energy

1 Commission, for that matter, in terms of saying,
2 yes, this is the tool, how we're going to achieve
3 that goal. And this is the targeted number of,
4 you know, systems we hope to bring online, or the
5 greenhouse gas reductions we hope to achieve.

6 In fact, it's sort of our understanding
7 that 1613 is going to be implemented fairly
8 narrowly, and we're going to use a different
9 proceeding at the PUC to try to address the CHP
10 measure.

11 DR. BARKOVICH: No, I understand. This
12 is Barbara Barkovich. I just wanted to follow on
13 on what you said, because I totally agree.

14 AB-1613, first of all, is targeted to
15 sales to the utilities. Doesn't mean you can't
16 produce your own electricity and use it, yourself.
17 Assuming that -- and reduce your indirect GHG by
18 doing that.

19 And what hasn't been thought about,
20 you're absolutely right, is with all the activity
21 that's going on with respect to CHP, how does it
22 all fit together to meet your reduction goals.

23 I think one of the -- I mean the reason
24 I'm here is because I see some spillover there.
25 But, first of all, if you're only dealing with

1 systems less than 20 megawatts, it's hard because
2 you have to have more of them in order to even
3 approach 4000 megawatts, assuming that's your
4 goal.

5 And this particular vehicle, again, as I
6 said, just deals with sales to the electric
7 utilities. It doesn't deal with onsite usage.

8 So what it really needs to be is, if the
9 state really wants so much GHG mitigation
10 associated with CHP, and I'm not going to use the
11 word megawatts, but, you know, so many million ton
12 equivalence of CO2, then there needs to be a
13 holistic strategy for CHP that looks at these
14 different applications.

15 Because, you know, this is only targeted
16 to one -- two -- well, one subset in two ways.
17 One is size and the other is sale to the utility.
18 And so you really have to look at the whole
19 picture.

20 And, you know, Michael has that nice
21 little box of his, in which he shows that only one
22 quadrant is related to this. And that the rest
23 isn't.

24 And so what we don't have is any
25 overarching look at how to accomplish that CHP

1 goal. And I'm not sure -- well, and this came up,
2 you know, this came up this morning when, you
3 know, Doug was talking, you know.

4 How do we address the issue how CHP fits
5 into cap-and-trade; how do we address how, you
6 know, the different subsets of CHP that go towards
7 meeting that GHG goal, whether it's within cap-
8 and-trade or not.

9 It's like some kind of umbrella look
10 that seems to be missing here.

11 So I'm really glad you brought that up,
12 because I think it's important.

13 PRESIDING MEMBER BYRON: And it's a good
14 point. And I'll take it a step further. We're
15 talking about the regulated sector for less than
16 20 megawatts, which could be quite small.

17 There is also onsite that's generated
18 onsite and used onsite. There's the greater than
19 20 megawatts. And then there's another whole
20 sector that we're not talking about at this
21 meeting, and that's in the public utility sector,
22 which is about 25 percent of the state, as well.

23 So when you get all done maybe we're
24 talking about 20 percent of the whole pie here.
25 Just to pick a number. Ms. Kelly.

1 MS. KELLY: Yes. Just to that point

2 I --

3 PRESIDING MEMBER BYRON: You don't have
4 to raise your hand, by the way, you're the boss.

5 MS. KELLY: Okay. I just did want to
6 address that because one thing we are doing is we
7 are revisiting the assessment that actually led to
8 that number that ARB used.

9 And in the IEPR we're going to be
10 looking at the commercial sector, 1613, large,
11 small, and try to get a better look at, you know,
12 what the potential is out there.

13 PRESIDING MEMBER BYRON: Good, I'm glad
14 you --

15 MS. KELLY: And understand it. And then
16 we can then, as Barbara indicated, you know, get a
17 better idea, and help ARB get a better idea of
18 what we can do, where it is, what the barriers
19 are, et cetera. So that will be done and be part
20 of the CHP OIR in July.

21 And we will have that report done in
22 July. So, I think that will help, Barbara.

23 PRESIDING MEMBER BYRON: I'm going to
24 suggest we press on in the question category. Ms.
25 Vaughan, do you want to come forward on this one?

1 MS. VAUGHAN: Oh, if --

2 PRESIDING MEMBER BYRON: You have to
3 come forward if you want to speak.

4 MS. VAUGHAN: Just really really quick.
5 I just wanted to kind of back up what Barbara was
6 saying, and Gary and yourself, and Linda.

7 I'm Beth Vaughan with the California
8 Cogeneration Council. And our membership is
9 mostly between 20 megawatt, 100 megawatt size. So
10 we're here more or less observing, not really
11 actively participating --

12 PRESIDING MEMBER BYRON: Now you're
13 participating.

14 MS. VAUGHAN: -- and really -- now I am
15 participating -- really hanging out for this next
16 CHP -- that's proposed. We have members who are
17 currently installing new boilers because there is
18 not an opportunity to install new CHP because they
19 do have the excess they need to -- and we don't
20 have a QF contract under the CHP contract.

21 So, I'll just throw that out there that
22 we have, you know, there's opportunities out there
23 now, and --

24 PRESIDING MEMBER BYRON: Are you
25 suggesting that we're missing GHG reduction

1 opportunities in this state because the regulator
2 is not acting fast enough?

3 MS. VAUGHAN: That is correct. Okay, so
4 I was quick.

5 MS. LAWVER: I just wanted to follow up
6 on the --

7 PRESIDING MEMBER BYRON: Please identify
8 yourself.

9 MS. LAWVER: Oh, I'm sorry, Renee
10 Lawver, Air Resources Board in the climate change
11 reporting section.

12 PRESIDING MEMBER BYRON: Welcome.

13 MS. LAWVER: Doug Thompson is the
14 section manager. I'm just replacing him for now,
15 thanks.

16 Office of climate change is planning a
17 workshop to specifically address SGIP issues
18 associated with the cap-and-trade regulation
19 development. So I just wanted to mention that.

20 And I'm just making a note that that
21 IEPR update is going to be available in July, if
22 you want to think about whether the cap-and-trade
23 workshop follows that, or precedes that. And
24 what's the best use of folks' time.

25 PRESIDING MEMBER BYRON: Okay, so, Ms.

1 Kelly, shall we try and go on to the next
2 question.

3 MS. KELLY: Four. Here we go again with
4 the ARB's mandatory greenhouse gas reporting
5 guidelines apply to CHP facilities above a certain
6 greenhouse gas emissions threshold and general
7 stationary combustion facilities, among others.
8 Are the ARB's reporting guidelines sufficient for
9 satisfying the act's requirements on being
10 environmentally beneficial? Why or why not?

11 And remember, these will be included in
12 our guidelines. We are proposing to include them.

13 MS. LAWVER: Again, Renee Lawver at the
14 Air Resources Board, climate change reporting
15 section. It's our section that developed that
16 regulation.

17 The regulation was developed to try to
18 anticipate policy direction and provide as much
19 information as possible.

20 So to the extent that policy direction
21 is evolving, the reporting regulations don't
22 define environmentally beneficial. It's just an
23 attempt to collect as much information to inform
24 decision, I think, as possible.

25 So we include electricity purchases to

1 inform indirect emissions, as well as stationary
2 combustions and processing fugitive emissions.

3 DR. BARKOVICH: And this is Barbara
4 Barkovich. I'll just say, because many of you
5 heard me say this before, that we have some
6 concerns as to how the reporting requirements
7 address straight bottoming cycle with no
8 supplemental firing, because they attribute
9 emissions where we don't believe they belong.

10 And this is a to-be-continued
11 discussion.

12 PRESIDING MEMBER BYRON: It is an
13 accounting issue that we've got to get right.

14 MR. DAVIDSON: Keith Davidson. I was
15 just struck by the difference in threshold for
16 reporting for combined heat and power, which I
17 think is 2500 tons a year, versus other
18 combustion --

19 PRESIDING MEMBER BYRON: 2500 tons or
20 25,000?

21 MR. DAVIDSON: 2500 versus other
22 combustion sources which is 25,000, Commissioner.

23 So there's a factor of 10-to-1
24 difference for combined heat and power over other
25 industrial process equipment. And to me that

1 seems onerous and it's going to hinder combined
2 heat and power and not help promote or foster
3 combined heat and power.

4 PRESIDING MEMBER BYRON: Well, in fact,
5 I was doing some quick calculations at the lunch
6 hour, and I hope somebody can correct me if I'm
7 wrong, but this 2500 metric tons of CO2 per year
8 come out to something that's on the order of about
9 50 to 60 kilowatts of continuous --

10 MR. DAVIDSON: I figured -- I did it, I
11 figured about a megawatt. But I could be wrong.

12 MS. LAWVER: Renee Lawver, Air Resources
13 Board. Yeah, that was our understanding through
14 the stakeholder workshops that it was equivalent
15 to about a megawatt.

16 And the reason for the order of
17 magnitude difference in the threshold for
18 electricity sector and SGIP was to be consistent
19 with the electricity sector, and capture as much
20 as possible from an accounting perspective of
21 emissions associated with electricity generation.

22 PRESIDING MEMBER BYRON: And also --

23 MS. LAWVER: That will continue to be
24 revisited.

25 PRESIDING MEMBER BYRON: -- to be

1 consistent with the electricity sector, it's
2 because these are stationary objects. And they're
3 easy to, you know, find and go after, as opposed
4 to the ones that move around.

5 MR. DAVIDSON: Yeah but a boiler that's
6 stationary and staying there doesn't have to
7 report unless it emits ten times as much
8 emissions.

9 PRESIDING MEMBER BYRON: Okay, good
10 point. And other comments on this one? Please,
11 Ms. Burgdorf.

12 MS. BURGDORF: Marci Burgdorf, Southern
13 California Edison. In terms of reporting I think
14 the guidelines, themselves, aren't going to tell
15 us whether or not it's an environmentally
16 beneficial piece of equipment.

17 And we've advocated this in our comments
18 with CARB is that there be some benchmark that
19 it's compared against. And that would be the
20 separate of a combined cycle gas turbine against a
21 boiler.

22 And so the idea, you know, and I guess
23 this term environmentally beneficial really needs
24 to be defined, as well.

25 But what we would consider

1 environmentally beneficial would be that fewer
2 emissions are produced with CHP than through a
3 separate process.

4 DR. SOINSKI: And with no specific --
5 just like break-even plus a fraction of a percent
6 or something. Is that basically what you're
7 saying?

8 MS. BURGDORF: I mean, that -- yeah,
9 that could be. You know, we haven't fleshed that
10 out specifically. But that at least at some
11 starting point to help determine what it would be.

12 DR. SOINSKI: That's interesting,
13 because I made that suggestion to someone from the
14 CPUC and they said that's a pretty small
15 threshold. And my response was, well, if I get
16 that much then I'm going in the right direction.

17 MS. BURGDORF: Yeah. Well, I guess it
18 depends what you use --

19 DR. SOINSKI: Right, I mean that's the
20 minimum, to my mind, right. And when I looked at
21 the SGIP you don't always even reach that, I don't
22 think. And that's the problem I have.

23 And then ideally you want to go on. I
24 certainly agree that, you know, we should look at
25 efficiency first. And we should, you know, try to

1 get that.

2 I thought about actually -- one of my
3 drafts I actually proposed that people do a site
4 audit and look at energy efficiency measures.
5 This is after talking to Ray, because I agree with
6 him about the importance of the load order.

7 But then how many burdens do you put in
8 a program to try to achieve a goal. And I sort
9 of -- I let it go, you know, I thought it was a
10 good idea, but I'm not sure it's something that's
11 practical within the context of this program.

12 MR. WICHERT: I would just say we had a
13 very similar conversation. We thought -- inside
14 the company. We thought it was a good idea to do
15 the energy efficiency audit and try to think about
16 ways that it wouldn't be too burdensome.

17 And thought about, again, for a, you
18 know, a small cogen it could be something really
19 very simple, maybe online versus, you know, a
20 larger CHP where you may want to do something a
21 little more sophisticated.

22 But then as to, you know, what you would
23 do with it afterward, again, you know, it's that
24 same sort of tradeoff. You don't want to be too
25 burdensome in the regulation. But, you know,

1 there is a goal to be met. And, you know, we
2 really couldn't come to a particular
3 recommendation. But that was the way we talked
4 about the issue.

5 MR. DAVIDSON: If I could just try -- I
6 mean I would bet that most people have already
7 done it. And you shouldn't require a new one be
8 done if there's been one that's already been done.

9 DR. SOINSKI: Well, I'm not talking
10 about having one done, period, whether you've done
11 one before or not.

12 MR. DAVIDSON: Yeah.

13 DR. SOINSKI: I mean I think the prudent
14 thing to do, and the wise thing to go, is to do
15 energy efficiency first. But, to say that this
16 program requires it, I think, is a step that --

17 MR. DAVIDSON: Yeah, I wouldn't do that.

18 DR. SOINSKI: -- I wasn't leaning to go
19 to. I'm open.

20 MR. SZAGNER: This is Joe Szagner,
21 Stanford. I'd like to add a comment, because
22 energy efficiency is almost thought of as a demand
23 side application very often.

24 And while there is efficiency embedded
25 in the kinds of equipment we're talking, the prime

1 movers here, I think there's a large potential
2 that hasn't been tapped yet. And that's energy
3 efficiency on the supply side in terms of thermal.

4 I think in my comments to the Air
5 Resources Board I proposed that, so this act
6 doesn't become a hindrance to something even
7 better, that at any combined heat and power sites
8 that also employ central cooling, that, indeed, it
9 not be voluntary, it would be a mandatory
10 assessment of the potential for heat recovery.

11 I think in my example paper at the CARB
12 we pointed out that at Stanford where we have a 60
13 percent cogeneration plant, we've just discovered
14 a 70 percent overlap in our heating and cooling
15 Btus in and out of that plant.

16 So, the buildings are essentially solar
17 collectors, bringing us energy. And we've been
18 using water and energy to dump that to the
19 atmosphere.

20 Now, because I have a cogen plant today,
21 under third-party contract, I can't implement that
22 strategy now, because heat recovery is not
23 thermally compatible with cogen, especially in the
24 summer.

25 So the next five years, or however long

1 it takes, I can't take advantage of getting half
2 my energy for free on the heating side.

3 So before we induce on combined heat and
4 power plants at central heating and cooling plant
5 systems that also have a cooling component, I
6 really think it should be mandatory that they
7 explore heat recovery. Because that has to be a
8 separate heat and power application. It's not
9 consistent with combined.

10 And you really foreclose that
11 opportunity for a very long time for very
12 significant free energy and greenhouse gas
13 reduction if you don't at least tip off the site
14 that, hey, there's this thing you should look at
15 it and let us know if it has any real feasibility
16 before we incentivize you to do another
17 application that may be 20, 30 percent overall
18 less efficient.

19 PRESIDING MEMBER BYRON: Mr. Szagner,
20 thank you, you just answered a question that's
21 been bothering me for many years about the
22 cardinal cogen agreement. So, now I understand
23 some of the concern there.

24 (Laughter.)

25 PRESIDING MEMBER BYRON: Any other

1 comments on this one?

2 MR. DAVIDSON: Well, I'll just say
3 that --

4 PRESIDING MEMBER BYRON: A good answer
5 is no, also.

6 (Laughter.)

7 PRESIDING MEMBER BYRON: Go ahead.

8 MR. DAVIDSON: That was okay. This is
9 Keith Davidson. You know, there's a lot of
10 reasons why all energy efficiency measures don't
11 get implemented at sites.

12 And there's some good reasons why
13 combined heat and power does get implemented
14 before all the energy efficiency measures do.

15 Some energy efficiency measures aren't
16 cost effective. Some energy efficiency measures
17 are considered that they would interfere with
18 production. Some energy efficiency measures are
19 in buildings that might be shut down in a few
20 years, and they don't want to make any more
21 capital investment.

22 There's a lot of reasons why people in
23 the industrial and commercial sector will not want
24 to do every energy efficiency measure and
25 implement it.

1 And I think for us to think that they
2 should is naive. And I would, you know, and I
3 would think a dialogue with the customer is
4 appropriate to see what they've looked at. Ask
5 them why they haven't looked at things.

6 But when you start talking about
7 mandatory studies that are going to cost money and
8 take time, we're going to say go away.

9 PRESIDING MEMBER BYRON: Yeah, the
10 under-represented constituent here is the customer
11 in today's meeting.

12 I'm going to ask Ms. Kelly if she'll
13 press on to the next question.

14 MS. KELLY: Five. Should a CHP system
15 commissioning test plan, a long-term monitoring
16 and reporting plan, and a performance compliance
17 plan be part of the application process? Why or
18 why not?

19 And then just to the second question, if
20 so, which organization should be responsible for
21 reviewing the plans or is a self assessment
22 adequate?

23 Art mentioned this earlier this morning.
24 So we're looking just for input about what should
25 be included and who should assure that the

1 facility's in compliance.

2 PRESIDING MEMBER BYRON: Yeah, I think
3 we just got a good perspective on that. Mr.
4 Davidson, do you want to repeat that answer again
5 about going away?

6 (Laughter.)

7 MR. DAVIDSON: No.

8 PRESIDING MEMBER BYRON: Okay. Anyone
9 want to contribute to this one?

10 MS. BURGDORF: I can.

11 PRESIDING MEMBER BYRON: Please.

12 MS. BURGDORF: In terms of the
13 commissioning test plan, I don't really have any
14 comments on that. I believe that that's a plan
15 that's between the operator and the system
16 generator. So I'm not really sure that the
17 Commission should get involved in that kind of
18 review and approval.

19 In terms of the verification and the
20 entities that can do it, the list that you
21 presented in your presentation, I think that we
22 would support any of those entities doing the
23 compliance.

24 And propose that maybe there be some
25 combination of verification so that there's one

1 party that collects the data, another party that
2 does the verification. And someone else that does
3 the evaluation. Or some combination of that.

4 DR. BARKOVICH: You're beginning to make
5 it sound very attractive to use the power,
6 yourself.

7 (Laughter.)

8 PRESIDING MEMBER BYRON: ARB doesn't
9 care. Right? As long as it's high efficiency.

10 DR. SOINSKI: Well, no, they have
11 verification; they have independent monitor
12 requirements --

13 PRESIDING MEMBER BYRON: Right.

14 DR. SOINSKI: -- on their program.

15 PRESIDING MEMBER BYRON: That's true.
16 Do you want to say anything about this?

17 DR. SOINSKI: Oh, no, it's --

18 PRESIDING MEMBER BYRON: Okay. No,
19 you're absolutely right.

20 MS. KELLY: Utility ownership of CHP
21 systems, question six, is encouraged in the act.
22 Should the guidelines apply to both utility and
23 private party ownership? Why or why not?

24 PRESIDING MEMBER BYRON: Ah, Mr.
25 Williams.

1 MR. WILLIAMS: Yes. Yes. They should
2 apply equally.

3 PRESIDING MEMBER BYRON: Equally to
4 both.

5 MS. BURGDORF: I'll agree and say yes it
6 will.

7 MR. COLVIN: I'm more than happy to hear
8 both of you say that. I would agree, for the most
9 part, with the one clarification that I really do
10 think what are these guidelines being used for.
11 Well, they're being used for to make certain that
12 we have a place to be exporting power via a feed-
13 in tariff.

14 And a utility wants to try and bring a
15 new, highly efficient, less than 20 megawatt
16 system online, that's a CHP system. They're not
17 going to sign up for a feed-in tariff, themselves.
18 They would do it through a different mechanism.

19 And so I'm a little wary of the
20 application of a utility-owned --

21 PRESIDING MEMBER BYRON: What mechanism
22 would they use?

23 MR. COLVIN: Well, it's likely a
24 bilateral contract, or and go through an RFO
25 process. Most likely. I don't, if this is going

1 to be a utility-owned system then they're going to
2 try and ratebase it, or they're going to try and
3 do something, even if it's on a customer's site.
4 And they most likely would file a joint power -- a
5 JPA or PURPA. You know, some sort of other
6 agreement other than what this would be.

7 But that's my guess, right. I could be
8 completely wrong, but I don't anticipate a ton
9 of --

10 PRESIDING MEMBER BYRON: Mr. Lemei may
11 correct your thinking here.

12 MR. LEMEI: Well, actually I just had a
13 question for Michael on this. I personally
14 struggled with the language in the act that spoke
15 to utility ownership under AB-1613, because I had
16 a hard time wrapping my head around how the tariff
17 would apply in that context.

18 That said, the language is there. And I
19 just was wondering if Michael or anyone else, what
20 they made of that language, and if they saw it as
21 a statement of the Legislature's hopes and dreams,
22 or if they actually saw it this tariff that we're
23 developing as potentially somehow having -- or I
24 should say, when I say the tariff, I mean the
25 whole program, our lines and the PUC's

1 tariff -- if they saw the incentive program that
2 we're developing -- programs that we're developing
3 as having potential direct application to utility
4 ownership.

5 DR. BARKOVICH: I think Michael -- this
6 is Barbara Barkovich -- I think Michael said it
7 well. If a utility's investing, I assume like
8 Edison's photovoltaic program, and PG&E's new
9 photovoltaic program, that they're thinking about
10 ratebasing these things.

11 And that means that there's a very
12 different compensation system than from a feed-in
13 tariff. So, I'd be curious, as to one, whether
14 the utilities are considering it; and two, whether
15 they would disagree that if they're ratebasing it,
16 a feed-in tariff would be inappropriate.

17 PRESIDING MEMBER BYRON: I was going to
18 ask, as well.

19 (Laughter.)

20 MR. WILLIAMS: It's not the -- I would
21 say, at this point, we're just sort of getting
22 into this. It's not the first question that we're
23 asking ourselves.

24 (Laughter.)

25 MR. WILLIAMS: It's pretty far down the

1 line in terms of utility ownership. And so we
2 haven't really thought about the ratemaking. But,
3 I guess the default is it would be ratebased.

4 And, you know, there need to be some way
5 for us to be held accountable if we were going to
6 go that route.

7 PRESIDING MEMBER BYRON: Ms. Burgdorf.

8 MS. BURG DORF: Yeah. I mean to the
9 extent that we would, you know, apply under this
10 tariff, we -- everybody should be held to the same
11 efficiency and monitoring standards.

12 PRESIDING MEMBER BYRON: Good.

13 MR. COLVIN: Again, I agree with that.
14 I didn't mean to take us down the wrong path,
15 especially when we're running over our time
16 period.

17 But, the one situation, to answer
18 Commissioner Byron's question, and to answer Galen
19 Lemai's question, the one way that I read this
20 there could be some sort of co-ownership or joint
21 ownership of the facility where, if the economics
22 just couldn't quite work, that it was kind of a
23 really interesting or good opportunity, there
24 might be that possibility.

25 I believe SMUD is doing something

1 similar to that right now with a couple of their
2 sites.

3 PRESIDING MEMBER BYRON: And I was going
4 to bring up some of those examples, as well.

5 MR. COLVIN: And, you know, I would
6 certainly be interested in seeing language on it,
7 seeing, you know, if you're to negotiations
8 tomorrow, if you -- if this is something that
9 you're seeing a lot of potential out there for,
10 you know. We'd love to kind of see more
11 information about it.

12 Again, I don't think it's at the top of
13 any one particular list of any of ours, but it is
14 there. And it might, you know, -- we do have the
15 opportunity to go beyond, as Mr. Lemei said, just
16 beyond the hopes and dreams.

17 PRESIDING MEMBER BYRON: You know,
18 there's another factor that comes to mind here, as
19 well, and that is now that we've instituted MRTU,
20 market redesign and technology updates --

21 MR. COLVIN: Technology updates.

22 PRESIDING MEMBER BYRON: -- and we will
23 now begin to see locational marginal pricing, and
24 we've done modeling here at the Energy Commission
25 that indicates a small amount of generation in the

1 right place could go a long way to reducing
2 congestion.

3 Utilities would be -- investor-owned
4 utilities, you would think, might be the first to
5 respond to that kind of opportunity. And one
6 could envision where a couple of megawatts of
7 generation, perhaps a joint project with a
8 customer so that we're getting the high efficiency
9 values of combined heat and power, could
10 definitely go a long way to reducing costs for all
11 consumers.

12 So there's other factors that may come
13 into play here that could see an investor-owned
14 utility get into this sector of the business.

15 I was just curious if you've thought
16 about this at all, or are we just way out in left
17 field here at the Energy Commission. Or at least
18 this Commissioner.

19 MR. WILLIAMS: We haven't put all those
20 thoughts together, so, thank you for doing that
21 for us.

22 MS. BURGDORF: And I'm not involved in
23 any discussions that would -- where I'd be able to
24 provide you a specific answer to that, but we can
25 provide in our comments some more specifics.

1 PRESIDING MEMBER BYRON: Okay. We're
2 trying to help our investor-owned utilities
3 appear, at least, to embrace the concept of
4 combined heat and power as a good concept towards
5 reducing GHG.

6 And I'm just putting forward maybe an
7 idea that might have play in your company.

8 Any more comments around this topic?

9 Linda.

10 MS. KELLY: I'll just make one comment
11 is that all the IOUs do participate in a PIER
12 project, which is one of the first things you came
13 to speak at. It was a PIER project that was
14 looking at what would be the win/win/win for CHP.

15 And that was with EPRI. And that was
16 done by E3, Snuller Price did that. And after a
17 year and a half of study and utilizing his model,
18 the win/win/win would be a CHP project that was
19 owned by a utility. And there would be benefits
20 for everybody there.

21 And that was one of the first things
22 that you spoke at when they --

23 PRESIDING MEMBER BYRON: Right.

24 MS. KELLY: -- announced that there. So
25 the idea is out there, for sure.

1 PRESIDING MEMBER BYRON: Thank you.

2 And, you know, to speak to the one other issue
3 that Mr. Colvin brought up, the publicly owned
4 utilities, it's interesting, with a 40 percent
5 lower, on average, lower rate structure, are now
6 beginning to look at CHP opportunities. Why?

7 It's difficult to make them work
8 economically. But maybe sometimes it's what their
9 customers want. And we've seen a number of
10 examples of POU/private customer kind of
11 arrangements. And if it works in those lower cost
12 service territories, just logic tends to tell you
13 it might make sense in the higher cost service
14 territories, as well.

15 MS. KELLY: Question seven. Should
16 there be additional performance or reporting
17 requirements within the Energy Commission
18 guidelines? If yes, what are they? And why are
19 they necessary. If not, why not?

20 MR. SZAGNER: This is Joe Szagner from
21 Stanford. I would just comment again that I think
22 we need more clarification on a) plant boundaries,
23 and b) what's meant by thermal load.

24 That would be great to see. Perhaps a
25 plant boundary definition might be limited to

1 equipment whose prime purpose is energy
2 transformation or something. As opposed to doing
3 process work.

4 Or some such means where you might
5 include, say, chillers in the definition of a
6 plant boundary, even if it's distributed chilled
7 water generation around the combined heat and
8 power complex.

9 Those chillers are there as prime pieces
10 of central plant equipment for a specific purpose
11 of energy transformation. Then you wouldn't have
12 to draw your boundary to, you know, the heat
13 exchangers and building efficiencies, these other
14 very difficult things we don't want to get into.

15 But there needs to be some technical boundary
16 of the central plant for cogeneration.

17 And then again, defining those common
18 terms using Btu or something, and clarifying up
19 that made available for use versus actually used
20 kind of thing would be real helpful.

21 PRESIDING MEMBER BYRON: You know, we're
22 certainly benefitting today by a lot of expertise
23 around this table. I'm sure Dr. Soinski would
24 welcome any input that you have about how to
25 generically define that boundary, am I correct?

1 DR. SOINSKI: Very definitely, yes.

2 PRESIDING MEMBER BYRON: Okay.

3 DR. SOINSKI: And these terms. Because
4 as I said, I've struggled with these terms because
5 I looked at what's in PURPA; it doesn't mean
6 anything to me. I couldn't, you know, made
7 available for use, I honestly don't know what --

8 MR. SZAGNER: You're not the only one.

9 DR. SOINSKI: I honestly do not know
10 what that means.

11 PRESIDING MEMBER BYRON: Oh, yes, thank
12 you for PURPA.

13 MR. WICHERT: Is there any opportunity
14 to use some term like actually used by the
15 process? Or is that too specific?

16 DR. SOINSKI: If you want to propose a
17 language --

18 MR. WICHERT: I mean that would be my
19 instinctive reaction, would be actively used by
20 the process. But maybe nobody else likes that.

21 MS. LAWVER: This is Renee Lawver. What
22 I'm just aware of in my particular case, where
23 several (inaudible), and then that customer
24 (inaudible), so there's a contract to provide for
25 thermal.

1 PRESIDING MEMBER BYRON: But it's not --

2 MS. LAWVER: But it's not always used.

3 PRESIDING MEMBER BYRON: -- always been
4 used.

5 MS. LAWVER: So, and who is responsible
6 for that.

7 MR. WICHERT: That's the difference.

8 MR. SZAGNER: And one other thing real
9 quick. Even as it comes to natural gas, defining
10 clearly what's the carbon content of combustion
11 that's assumed, and what's the heating value.

12 You can find different values. We had
13 some professors doing calcs checking our work,
14 and, you know, they found different factors. And
15 we had to argue what factors to use for what
16 portfolio.

17 So, maybe the gas transmission or supply
18 company comes up with that for all their users.
19 But, you know, it would be tough to have one power
20 plant in one part of the state saying, I'm using
21 this assumed carbon content of combustion for
22 calculating my GHGs, or I'm using this assumed
23 high heating value if it's something different.

24 It would be nice to somehow standardize
25 those so that you don't have all kinds of

1 different flavors.

2 PRESIDING MEMBER BYRON: Yeah, natural
3 gas is used in a number of different sectors, not
4 just this one. I think we'll count on our friends
5 at the AB to give us a nice conservative
6 consistent value for that.

7 MR. DAVIDSON: That's a good idea. Good
8 idea.

9 MS. LAWVER: I would just -- as far as
10 methodologies for calculating greenhouse gases,
11 the reporting regulation would be the place to
12 look for that.

13 MR. SZAGNER: Besides carbon content,
14 would they also address the --

15 MS. LAWVER: Carbon content, -- test
16 methods --

17 MR. SZAGNER: -- assumed -- okay.

18 MR. COLVIN: For carbon content I also
19 believe the PUC and the CEC joint recommendations
20 from October 2008 also say some stuff -- say some
21 useful things that I'm certain Art's very well
22 aware of, that will hopefully be used, as well.

23 PRESIDING MEMBER BYRON: You mean the
24 1100 pounds of CO2 per megawatt hour?

25 MR. COLVIN: I actually mean the fuel

1 intensity for when it comes to allocation
2 purposes. Now I'm talking specifically for
3 allowances, but it was based off of the point that
4 Mr. Szagner was making.

5 MS. BURGDORF: This is Marci with
6 Edison. Mine's more of a question than an actual
7 comment. But in the statute it also does discuss
8 that this program should be encouraged. The POU's
9 should also be encouraged to develop a program.

10 And so my only comment here is that any
11 measurement verification and guideline, I don't
12 know to what extent you're sharing those, or
13 working with the POU's to implement those? Of if
14 you're aware of if they've started developing a
15 program? But, either way, whatever guidelines are
16 finalized here also be extended to that.

17 PRESIDING MEMBER BYRON: Yeah, they're
18 missing a regulatory body to open a proceeding on
19 this issue, on their behalf.

20 But I would imagine that we would expect
21 the same application to the publicly owned utility
22 sector as investor-owned.

23 MS. KELLY: We've met with SMUD, and
24 SMUD is looking at this. They're looking at
25 developing a tariff and a contract. I don't know

1 what the timeframe will be, but my guess is
2 sometime this summer they'll bring it to their
3 board. But they're definitely working on it.

4 Okay, last question. What other issues
5 are important to this proceeding that have not
6 been raised? So, is there anything we've missed,
7 or anything at this point in time you'd like to
8 put on the record for us to look into, or
9 whatever? Michael?

10 MR. SZAGNER: Well, this is Joe Szagner.
11 I'll just go again with mine real quick, then.

12 Again, I'd recommend that we look at the
13 European Union standards. They set a CHP
14 efficiency of 70 percent low heating value, or
15 about 63 percent high heating value. And require
16 that you also prove it would be 10 percent better
17 than the alternative SHP.

18 And they must have had some reasons and
19 deliberations going through that, so that might
20 provide good reference.

21 I'd also recommend that we consider
22 sliding scale incentives, so once we establish
23 some benchmark that those incentives allow the
24 more efficiency above that benchmark, the greater
25 the incentive, if possible, to encourage even

1 more.

2 PRESIDING MEMBER BYRON: That's a great
3 idea. But I tend towards Mr. Wong's statement
4 earlier, the customer's already got plenty of
5 incentive in place. The more efficient he is, the
6 more money he saves, as well.

7 So, I don't know --

8 MR. SZAGNER: Fair enough.

9 PRESIDING MEMBER BYRON: -- as
10 regulators, that we need to put more, you know,
11 put more gold in the pot.

12 Those are good ideas, though. Thank you
13 very much.

14 Any other? Please.

15 MR. DAVIDSON: Yeah, this is Keith
16 Davidson. I still haven't, and I think this
17 subject has been addressed by other people, as,
18 you know, what greater good is AB-1613 really
19 going to serve in terms of greenhouse gas
20 emissions.

21 And I still wrestle with that. I'm not
22 sure where all this effort is going to get us in
23 terms of real benefits.

24 And I wanted to -- Lisa Conley from
25 Solar Turbines, who's left, kind of raised it.

1 But I don't think -- I'm not sure if everybody
2 here really understood what she said.

3 But I did a feasibility study for an
4 industrial plant in southern California. And they
5 had electrical that was 6 megawatts. And they had
6 a much bigger thermal load than could be provided
7 by an unfired 6 megawatt gas turbine. It was a
8 Taurus65, it was a solar turbine.

9 And so you could supplementally fire it
10 and get that extra steam. And when you
11 supplementary fire a gas turbine your incremental
12 boiler efficiency of that gas is what, is it like
13 95 percent, something like that. I mean, it's
14 very very high. Much greater than if you were to
15 make it in a stand-alone boiler.

16 And the other option, because AB-1613
17 was just passed, I made up some tariffs and I
18 said, all right, well, what would it be if they
19 went to a bigger system. They could have gone to
20 a 10 megawatt system instead of a 6 megawatt
21 system. But they wouldn't have the supplementary
22 fire.

23 But what I didn't do is kind of look at,
24 well, what's the difference in greenhouse gas
25 benefits between the two. Because supplemental

1 firing gets you a lot of benefits, too. More so
2 than just putting in a bigger system.

3 And I don't, you know, and I would think
4 that, you know, unless AB-1613 was, there wasn't
5 much risk for me doing that, the contract was
6 secure and, you know, people weren't going to beat
7 me over the head a hundred times, I'd probably --
8 the customer would probably go with the smaller
9 system.

10 DR. BARKOVICH: Well, when you do
11 that -- this is Barbara Barkovich. And I haven't
12 thought about it in the context you're discussing
13 it, but I know from some studies that have been
14 done in the case of bottoming cycle, which is not
15 what you're talking about, that you do get into
16 some interesting issues with supplemental firing
17 and meeting the SB-1368 requirements.

18 So, there are all these different
19 criteria you have to meet at the same time. And I
20 don't know if that would have been an issue or
21 not.

22 MR. DAVIDSON: I didn't look at that.
23 But the overall efficiency for the supplemental
24 firing case was probably about 85 percent. And
25 the overall efficiency for the larger gas turbine

1 was like 70 percent, 72 percent, something like
2 that.

3 MR. WONG: Eric Wong. Keith, are you --
4 some of this sounds counter-intuitive to me. If
5 you have 4 megawatts excess capacity from a 10
6 megawatt turbine, right?

7 MR. DAVIDSON: Yeah.

8 MR. WONG: Could you not have sold that?

9 MR. DAVIDSON: No, I put that in before
10 the --

11 MR. WONG: You did put it in there,
12 okay.

13 MR. DAVIDSON: I'm not sure. I was
14 generous enough as the utilities are going to be,
15 I'm sure --

16 (Laughter.)

17 PRESIDING MEMBER BYRON: Well, I think
18 we're coming to a close. Any other topics that
19 you'd like to discuss? Otherwise, I think Ms.
20 Kelly is going to go over the schedule, and I'll
21 make a few closing remarks.

22 MS. KELLY: Okay. For everybody,
23 comments are due on April 27th. The directions
24 are in the -- this is a docketed proceeding, so
25 the directions are in the workshop notice, just

1 refer to that for filing your comments by email or
2 by mail.

3 The next event for us is June 15th. We
4 will post our staff draft's proposed guidelines.
5 These will be the actual fully written out
6 guidelines with all the details, definitions, et
7 cetera.

8 We'd like comments two weeks after that
9 on June 29th. And then in mid-July if there is a
10 lot of comments and we have -- we're not really
11 close on closure, we could have a workshop if we
12 feel it's necessary.

13 But if not, then what we'll do is that
14 we will then post our final recommendations for
15 the guidelines. Then we will have a workshop on
16 September 16th with this Committee to get your
17 comments one last time on these guidelines. And
18 then on September 30th we'll get written comments.

19 And then if there isn't any substantial
20 changes after that period of time, then we'll go,
21 on November 18th, to a business meeting for a
22 final approval and adoption of these guidelines.

23 Is there any question about this
24 schedule? We're going to try, like Michael, to
25 get everything done.

1 PRESIDING MEMBER BYRON: And, of course,
2 this is one of many moving parts to the Integrated
3 Energy Policy Report. I'm just going to pick a
4 number. One of about 30 parts, perhaps, that all
5 come together in that timeframe.

6 I think we're just about done. Let me
7 say a few things. First of all, I'm really
8 pleased with the conversation that I've heard
9 today, initially from the Public Utilities
10 Commission, Mr. Colvin, it's great to have you
11 here.

12 It's really important that the two
13 Commissions continue to work together, make our
14 schedules as consistent as we can. We have
15 different obligations driving our interest -- I
16 mean, sorry, our needs to get things done.

17 But our long-term interest is really the
18 same. And it is interesting to hear the comments
19 around AB-1613 and how effective it will be. I
20 can tell you that the efforts that the
21 Assemblymember put into that were extraordinary.
22 Maybe there's other things that can be done.

23 And I think if you've ever met with
24 Assemblymember Blakeslee you know he's interested
25 in your input.

1 Having said that, I'm also very pleased
2 when I read through your presentation, to see the
3 innovative thinking that's underway on the part of
4 the PUC, when I saw this characterized like a
5 feed-in tariff. I found that very interesting.

6 And I think it is. I mean it's very
7 similar, it's not quite as good as renewables in
8 terms of GHG reduction, but it certainly is a lot
9 cheaper. And that's part of why we think this is
10 so important to contribute toward the ARB's GHG
11 reduction goals and their scoping memo.

12 Some of the other things that I did want
13 to mention, and we had opportunity to bring them
14 up briefly, are thinking even broader than we are
15 right now. I think MRTU may afford us some new
16 opportunities here to reduce congestion, which
17 saves money, which has value. And perhaps, in the
18 long run, could feed into a, I'll use the term,
19 feed-in tariff, as well, for generation.

20 And the other topic that came up towards
21 the end, that I agree wholeheartedly with, is
22 looking at other sources of information. The
23 publicly owned utilities, the European Union,
24 forgive me, who brought that up. There are other
25 states. Mr. Davidson brought up Oregon.

1 There's a lot of examples that show a
2 different approach that could be beneficial to us
3 here, and that we should certainly consider these
4 in our thinking as we move forward with your
5 proceeding at the PUC.

6 I've certainly instructed my staff to
7 consider all that additional input. But we still
8 have to fulfill that AB-1613 requirements.

9 One last thing, and that is I'm
10 concerned, and this came up today, as well, about
11 the lack of participation, if you will, on the
12 part of the parties.

13 I'm very pleased to see some of the
14 folks that are here, whether they're just
15 monitoring or sitting at the table, there is still
16 some interest in this area. There are customers
17 that are interested in combined heat and power.

18 And I think it's incumbent upon us, as
19 state regulators, the two Commissions here, to try
20 and make sure we keep this market as open as
21 possible. There's some conflicted interests that
22 seems to limit the CHP opportunities as they exist
23 today.

24 And therefore, I know that you're having
25 some discussions at the PUC -- Ms. Burgdorf

1 referred to them -- in the next day or two. The
2 parties are getting together.

3 In fact, I don't think many people
4 understand that. The parties are going to be
5 meeting and see if they can come to some sort of
6 agreement.

7 So, as I see it, they're doing the PUC's
8 job, is that right?

9 MR. COLVIN: Oh, I wouldn't go that far.

10 PRESIDING MEMBER BYRON: Well, you're
11 sitting next to someone who has told me before
12 that the PUC has not ever -- hasn't done any
13 tariffs in the last 10 or 15 years. It's always
14 the parties that get together and do that.

15 DR. BARKOVICH: We settle.

16 (Laughter.)

17 MR. COLVIN: To illuminate what
18 Commissioner Byron is saying very quickly, --

19 PRESIDING MEMBER BYRON: If you would
20 explain that briefly, it would be helpful.

21 MR. COLVIN: Yeah, of course, I'd be
22 more than happy to. And I believe that I alluded
23 to this when I was talking about the timeline this
24 morning.

25 There are, from the draft straw proposal

1 that we released in February, and after we'd
2 workshopped it, several of the parties said, look,
3 there's some things that we think we want to
4 change. We want to be able to kind of recommend.

5 And rather than getting from 20
6 different parties 20 different, slightly different
7 proposals, and trying to aggregate them all
8 together, there's a lot of changes that could
9 happen that are probably very easy to come to some
10 sort of tentative agreement on.

11 And one of the things that we really try
12 to encourage through our process is anything
13 that's going to be formally adopted will be
14 adopted, you know, by use. And it's not just the
15 people that show up at the table.

16 But for the parties who want to be able
17 to say, okay, you know, we have these 15 issues
18 that we think are a point of contention, and we
19 think we can come to an agreement on these six.

20 Then the issues that have to get
21 moderated and dealt with by the PUC have been
22 reduced by six. It's just one way of doing
23 things.

24 Certainly we're going to look over and
25 read everything, no matter what. It's just a way

1 of trying to make it at least somewhat simpler.

2 The second half of the conversation is
3 at least this opportunity will, regardless of if
4 there's a missing market, if the market is not
5 being fully represented by people, if you're not
6 able to participate in this stage of the game, in
7 this process, at least this will allow the three
8 utilities to be able to come to some agreement on
9 one particular -- parts of things, so that there
10 aren't three different tariffs from three
11 different utilities. And I think that's one of --
12 that's a main benefit.

13 There will be certainly many other
14 opportunities to participate. This is not the
15 only one. But this is -- there's a set of
16 negotiations that will happen this week to at
17 least try and nail down some of hopefully the less
18 contentious issues that are around.

19 PRESIDING MEMBER BYRON: All right,
20 thank you, Mr. Colvin.

21 And that leads me to my point. I have a
22 couple of letters that have been sent to the
23 assigned commissioner on this, and a number of
24 these organizations have indicated that they've
25 elected not to participate.

1 I don't want to suggest why, but I think
2 we know that it's partially, it's expensive. The
3 procedures that we've set up at the Public
4 Utilities Commission, and perhaps even here, it
5 costs money to play.

6 And I've had more than one of these
7 organizations tell me today they don't have that
8 money. I mean, it's very difficult for them to
9 participate.

10 So, hopefully coming to Sacramento is
11 the low-cost approach, and we appreciate you all
12 being here.

13 To finish I'd really like to thank you
14 all. There's a tremendous amount of expertise in
15 this room, around this table. I certainly
16 benefitted tremendously. I believe my staff did,
17 as well. And I would like to thank you for taking
18 the time to be here today.

19 I think that's all we're going to cover.
20 Thank you for staying late. We'll be adjourned.

21 (Whereupon, at 4:11 p.m., the workshop
22 was adjourned.)


23 --oOo--

CERTIFICATE OF REPORTER

I, PETER PETTY, an Electronic Reporter, do hereby certify that I am a disinterested person herein; that I recorded the foregoing California Energy Commission Committee Workshop; that it was thereafter transcribed into typewriting.

I further certify that I am not of counsel or attorney for any of the parties to said workshop, nor in any way interested in outcome of said workshop.

IN WITNESS WHEREOF, I have hereunto set my hand this 7th day of May, 2009.



PETER PETTY