

STAFF WORKSHOP
BEFORE THE
CALIFORNIA ENERGY RESOURCES CONSERVATION
AND DEVELOPMENT COMMISSION

In the Matter of:)
)
Preparation of the 2009 Integrated)
Energy Policy Report) Docket No.
) 09-IEP-1E
Present and Future Central Station)
Renewable Energy Facility Plant Costs))
-----)

CALIFORNIA ENERGY COMMISSION
HEARING ROOM A
1516 NINTH STREET
SACRAMENTO, CALIFORNIA

THURSDAY, APRIL 16, 2009

9:02 A.M.

ORIGINAL

Reported by:
Peter Petty
Contract No. 150-07-001

DOCKET	
09-IEP-1E	
DATE	APR 16 2009
RECD.	MAY 13 2009

COMMISSIONERS PRESENT

Jeffrey D. Byron, Presiding Member

ADVISORS PRESENT

Laurie tenHope

Kristy Chew

STAFF and CONSULTANTS PRESENT

Suzanne Korosec

Al Alvarado

Joel Klein

Gerald Braun

John Hingtgen

Kevin Sullivan

Charles M. O'Donnell

Pete Baumstark

Frans van Aart (via teleconference)

Karl-Heinz Lochner (via teleconference)

KEMA, Inc.

ALSO PRESENT

Shan Blattacharya

TRC Solutions

David Townley

Infinia Corp.

John Shears

Center for Energy Efficiency and Renewable

Technologies

Matt Campbell

SunPower Corporation

Jenifer Hedrick

Southern California Edison Company

I N D E X

	Page
Proceedings	1
Introductions	1
Opening Remarks	1
Suzanne Korosec, CEC	1
Presiding Member Byron	3
Presentations	4
Introduction to Levelized Cost of Electricity Generation Technologies	4
Al Alvarado, CEC	4
Future Energy Supply Costs: Multiple Moving Targets	18
Gerald Braun, CEC	18
Overview, Renewable Energy Cost of Generation Study	37
John Hingtgen, CEC	37
Renewable Energy Cost of Generation Study: Draft Results, Status and Progress	41
Kevin Sullivan and Others, KEMA	41
Public Comments	116
Closing Remarks	159
Presiding Member Byron	159
Adjournment	159
Certificate of Reporter	160

1 P R O C E E D I N G S

2 9:02 a.m.

3 MS. KOROSK: I'm Suzanne Korosec; I
4 lead the Energy Commission's Integrated Energy
5 Policy Report unit. And welcome to today's staff
6 workshop on present and future costs of central
7 station renewable facilities.

8 This workshop is being conducted under
9 the direction of the Integrated Energy Policy
10 Report Committee.

11 Just a few housekeeping items before we
12 get started. Restrooms are out the double doors
13 and to your left. There's a snack room on the
14 second floor at the top of the stairs under the
15 white awning. And if there's an emergency for any
16 reason, and we need to evacuate the building,
17 please follow the staff out the door to the park
18 across the street and wait there for an all-clear
19 signal.

20 Today's workshop is being broadcast
21 through our WebEx conferencing system. And
22 instructions on how to participate are provided in
23 the workshop notice for today's event, which is
24 available on our website at www.energy.ca.gov.

25 The workshop is also being webcast;

1 access to the webcast is also available on our
2 website.

3 To give just a little context for
4 today's workshop, the Energy Commission is
5 required to prepare an Integrated Energy Policy
6 Report every two years that provides an overview
7 of major energy trends and issues that are facing
8 the state.

9 The 2007 IEPR identified the need for
10 better data in the Energy Commission's cost of
11 generation model about the costs of renewable
12 technologies, as well as how generation costs
13 evolve. And recommended that the 2009 IEPR focus
14 on developing a process to regularly update these
15 changing technology costs over time.

16 Today's workshop will feed into that
17 effort by discussing feasible renewable
18 technologies that are likely to be deployed over
19 the next 20 years; cost drivers and trends for
20 those technologies, and the likely cost
21 trajectories.

22 We'll also be examining two nonrenewable
23 technologies, nuclear and integrated gasification
24 combined cycle.

25 The information from this workshop is

1 going to feed into a follow-up workshop on July
2 22nd on updates to the cost of generation model.

3 So with that brief introduction I'll
4 turn it over to Commissioner Byron for opening
5 comments.

6 PRESIDING MEMBER BYRON: Good morning,
7 thank you, Ms. Korosec. Good morning; I'm Jeff
8 Byron. I chair the Integrated Energy Policy
9 Report Committee, along with Commissioner Boyd,
10 who I hope, although we're not certain, but I hope
11 will be joining us. Along with me here at the
12 dais is my Senior Advisor, Laurie tenHope.

13 And I'm very interested in this subject
14 as it feeds into our IEPR process. When I was in
15 private consulting I'd kill for this information.
16 And here I get to sit and take it all in like a
17 schoolboy. I'm really looking forward to it.

18 I would also like to let everyone know
19 that this is really what we look to our staff to
20 do, is manage the consultants and the expertise
21 that bring us information and provide the
22 objective reporting around topics such as this.

23 So, I'm here to learn today, to craft
24 recommendations that hopefully you'll find one day
25 in our Integrated Energy Policy Report towards the

1 end of this year. And I understand, as Suzanne
2 said, that we'll be visiting this subject again on
3 July 22nd.

4 So thank you very much. I'll turn it
5 back over to staff.

6 MS. KOROSEC: All right. We'll begin
7 with Al Alvarado who will be talking about the
8 cost of generation model and the project.

9 MR. ALVARADO: Good morning. I'm Al
10 Alvarado; I'm the manager of the electricity
11 analysis office. We are one group of staff that's
12 working with other program folks within the
13 Commission. We're working really closely with the
14 PIER Staff and the consultants that have been
15 hired to also help us in this project.

16 I'm here today to just give a general
17 introduction of the cost of generation project,
18 since the topic of today's workshop is just one
19 phase of the overall project.

20 To provide context of levelized cost of
21 generation project, as Commissioner Byron
22 indicated, you know, this is in support of the
23 development of the 2009 Integrated Energy Policy
24 Report. The cost of different generation
25 technologies is basically a fundamental building

1 block for doing any kind of analysis of evaluating
2 potential generation sources for California, as
3 well as these costs also tend to serve as a
4 benchmark when we estimate wholesale electricity
5 costs, which is also used to evaluate other
6 programs such as efficiency, energy efficiency
7 programs.

8 We have conducted similar studies in the
9 2003 and 2007 Integrated Energy Policy Reports.
10 And each cycle we've improved the scope of
11 analysis.

12 For example, in the last cycle we did
13 develop an easy-to-use and transparent model to
14 calculate the levelized costs of different
15 generation technologies. This is a public domain
16 model for others to use, and we've actually had
17 quite a few requests this past year for this tool.

18 As I indicated, this is one of the
19 building blocks of electricity resource planning
20 studies. I think this will be applied in a number
21 of different manners throughout other Energy
22 Commission studies.

23 This is the first phase of the overall
24 project. The other tasks are to modify the
25 levelized cost of generation model that we

1 developed last cycle. We would like to -- we're
2 considering the differences of a cash flow model
3 versus a revenue flow type model. We've also
4 evaluated, looked at other tools to see how our
5 tool compares with others.

6 An important phase is updating the
7 engineering and financial model inputs. The topic
8 of today's workshop is to focus on the renewables,
9 IGCC and nuclear generation. We have another
10 effort underway to look at the attributes for
11 natural gas-fired generation, which will come in
12 at a later phase of the project.

13 Key to understanding any levelized cost
14 for different technologies, we really need to
15 understand how the individual factors may change
16 over time. You know, in the last cycle we were
17 able to derive some levelized cost estimates for
18 new generation technologies that would be built
19 today.

20 In this cycle of the IEPR we are going
21 to consider what are the factors and how they may
22 change in the future to come up with some range of
23 estimates for future levelized costs.

24 But like everything else, each input to
25 the tool does have its own role of uncertainty, so

1 we want to drill a little bit deeper to better
2 understand all the factors that may actually swing
3 these individual factors one way or the other.

4 For example, the cost of materials that
5 go into building any of these facilities
6 definitely has changed over time. And we'd like
7 to examine how things may change in the future.

8 Once we analyze a lot of these different
9 input variables, factors, we will then calculate a
10 range of current and future costs. And in this
11 effort we are also comparing the different
12 levelized cost models.

13 For example, there's tools that are used
14 at the Public Utilities Commission to identify the
15 market price referent. There's another tool that
16 is used for the RETI that's also coming up with
17 different costs of levelized cost to the renewable
18 technologies. And we have found some differences,
19 so we will be able to get into what those
20 differences are, and get a better understanding
21 about what the implications are.

22 I don't expect you to be able to read
23 the details in this chart. It's just really more
24 to illustrate all the different factors that we
25 are considering in this project.

1 I mean there are so many different
2 variables that we need to consider. And each of
3 those variables could shift up and down as we
4 expand the scope of our analysis.

5 So, on the left-hand of the chart we do
6 provide a lot of input, the plant characteristics
7 we want to consider, the financial assumptions and
8 even some of the general assumptions trying to
9 understand, you know, the differences whether a
10 developer is going to be an investor-owned
11 utilities, municipal utility or a merchant
12 developer.

13 The outputs we will identify the
14 levelized fixed costs, variable costs, the total
15 levelized costs. As another one of the outputs we
16 also will be able to derive screening curves, and
17 this will give us a better chance of comparing one
18 generation technology next to the other.

19 The goals of this project has, and still
20 is, to, one, develop a transparent, easy-to-use
21 tool that most folks can use for deriving
22 levelized costs of different generation
23 technologies.

24 But to do so, we think it's really
25 important to consider a consistent set of

1 financial and operation assumptions that would
2 apply to all the different generation
3 technologies. This way it would give us a better
4 handle in terms of if we want to compare one
5 technology next to the other.

6 We found that in some studies some of
7 the input assumptions were just so far apart.
8 And, of course, that gives us very different
9 results in the calculating of levelized costs.

10 We do want to understand the, as I
11 indicated earlier, the different variables and
12 scope of uncertainty, just to derive this range,
13 rather than one single-point cost estimate.

14 Just to sort of emphasize the point,
15 this is a slide that we used for the 2008 update
16 report. And we've had staff go through a number
17 of different studies that have calculated their
18 own set of levelized costs for some of these
19 different technologies.

20 And as you can see, the levelized cost
21 estimates do vary from one report to the other. I
22 think we do not actually find this very useful
23 because really the devil is in the details.

24 You know, it does take considerable
25 effort to really drill deeper into these reports,

1 to really understand why some of the cost
2 estimates diverge from one another.

3 This is also just to sort of illustrate
4 some of the costs that -- this is what the costs
5 we did derive for the 2007 report. This is a
6 single-point, conditional set of levelized cost
7 estimates. And I really say conditional because
8 we've used a fixed set of assumptions for each one
9 of these technologies.

10 Like one, capacity factor as opposed to
11 we know that, for example, any advanced combined
12 cycle units, the actual operating capacity factor
13 has varied over the year. And that will actually
14 affect the overall levelized cost estimates and
15 what would be the revenue requirements for a
16 developer.

17 PRESIDING MEMBER BYRON: Mr. Alvarado?

18 MR. ALVARADO: Yes.

19 PRESIDING MEMBER BYRON: Can you
20 identify what you think is the single largest
21 reason why the merchant levelized cost is so much
22 higher than the others?

23 MR. ALVARADO: I think I might have to
24 punt to some of our staff that actually were
25 instrumental for coming up with a lot of these

1 assumptions.

2 PRESIDING MEMBER BYRON: Good. If we
3 have an answer, that would be helpful. But
4 otherwise, I think we'll get back to this later.
5 Do you have an answer?

6 MR. ALVARADO: Joel?

7 MR. KLEIN: Yeah.

8 MR. ALVARADO: This is Joel Klein, the
9 project manager for the last cost of generation
10 project.

11 MR. KLEIN: In this report the merchant
12 costs are higher than the IOUs, which is the one
13 you want to compare it against. Because the POUs
14 have very low financing. They finance through --
15 they have no equity, they finance through debt,
16 which means they have a noticeably lower cost.

17 But if you compare the merchants to the
18 IOUs, the merchants in this report, and perhaps
19 not entirely correctly, are higher because of the
20 financing costs.

21 Now, in some actuality, and this is a
22 subtlety we're having trouble capturing, IOU costs
23 tend to be higher than merchant plants. And we
24 finally traced this to a missing element. And the
25 missing element is that we were using revenue

1 requirement model for all these.

2 Merchant financing is not typically done
3 with a revenue requirement model. It can be, it's
4 not typically done.

5 We're going to incorporate this
6 improvement in this upcoming 2009 version. And
7 costs can decrease for merchants is in the range
8 of 20 to 30 percent. So you'll see a shift in the
9 levelized costs now. We expect to see, at least
10 by and large, that the merchant plants will now be
11 less due to the type of the way it's calculated.
12 Okay?

13 PRESIDING MEMBER BYRON: Thank you, Mr.
14 Klein. I think I do recall this coming up before,
15 and so I thank you for clarifying that again.

16 MR. KLEIN: Okay.

17 PRESIDING MEMBER BYRON: Thank you.

18 MR. KLEIN: To make this short, this
19 time we'll do a better job.

20 (Laughter.)

21 MR. ALVARADO: This is another chart
22 that comes from the 2007 levelized cost of
23 generation report that we prepared. And this is
24 just to illustrate that some of the other factors
25 that we have analyzed, and we will also evaluate

1 this time, as the effect of tax credits.

2 So, this will show what would be the
3 cost to the developer versus I would call them a
4 social cost, when you consider the overall taxes
5 associated with development of these facilities,
6 too.

7 This chart is more the crux of the main
8 point that we want to make to provide when we do
9 these levelized costs of generation studies. In
10 the last report that chart we provided is a
11 single-point forecast.

12 But in reality, the calculated levelized
13 costs can really shift from one direction to the
14 other depending on the assumptions used in -- you
15 consider for each different technology.

16 So this is just a sensitivity of varying
17 different input assumptions, and we'll just show
18 you how some of these assumptions will affect the
19 levelized costs.

20 Like with the parabolic trough
21 facilities, you can see the capacity factor,
22 operating capacity factor of a plant can actually
23 shift the calculated levelized costs for each
24 facility.

25 And in this cycle we want to spend much

1 more time in understanding how all these different
2 variables, in itself, could change. And also how
3 it will affect overall levelized costs.

4 Another consideration is this chart just
5 provides the cost estimates of different vintage
6 reports, the 2003 report that was developed versus
7 the one we did last cycle.

8 And you can see that the cost estimates,
9 alone, have changed over time. And we would
10 expect it to change. I think this is something --
11 this will be another key feature for this analysis
12 is to understand what could happen in the future.

13 We hear many general assumptions about
14 how the economies of scale may actually change the
15 costs for developing one technology or the other.
16 The costs of materials may vary depending on the
17 economy, scarcity of resources, et cetera.

18 The application of this levelized cost
19 generation project will be used not only
20 internally but as we have had many requests for
21 this information, we have had financial
22 institutions that are considering financing
23 different projects.

24 We will use this to really evaluate how
25 these prices may change over time. We will use

1 this information to analyze the financial
2 feasibility of one technology project next to the
3 other. And to do so we will develop screening
4 curves to be able to at least show how some of
5 these different technologies are comparable.

6 Of course, I would say screening only
7 because cost is only one factor you consider when
8 you're comparing different generation
9 technologies, since the actual attributes and
10 services that each technology can provide to the
11 system is very different.

12 The energy efficiency program has also
13 used these costs to evaluate the economic benefits
14 of say, of expanding our building standards, or
15 how any alternatives may compare.

16 And it's also an input to our resource
17 planning studies. We do conduct -- we do develop
18 alternative resource plans, trying to evaluate the
19 implications of what would happen when you build
20 out a wind resource into the future, and how the
21 implications would change over time -- with
22 comparing other technologies.

23 And the cost of some of these generation
24 facilities have also been used as a benchmark for
25 wholesale energy costs.

1 So, the next steps. At today's workshop
2 we will discuss all the factors, the results of
3 our study on the input variables for the renewable
4 technologies, IGCC, nuclear generation.

5 Once we receive any comments, and if we
6 need to modify any of these assumptions, they will
7 be input to our cost generation model to calculate
8 their range of levelized costs.

9 And as Suzanne indicated, this will be
10 then a subject of the later workshop on July 22nd
11 where we will present a staff report on all of our
12 results from this project.

13 With that, I'm open to any questions.

14 PRESIDING MEMBER BYRON: I do have
15 another, if I may. Mr. Alvarado, I'm not sure if
16 the model included the effect of tax credits. You
17 did show us a figure that showed the effect.

18 What about the price of carbon? Is
19 there an option to include that in this model?

20 MR. ALVARADO: We have talked about
21 adding that functionality into the tool. We've
22 done that outside of the model, but I would defer
23 again to Joel. I think we have discussed maybe
24 adding carbon values to see how that might affect
25 the levelized costs.

1 MR. KLEIN: (inaudible).

2 PRESIDING MEMBER BYRON: Mr. Klein,
3 you'll need to come to the microphone again.

4 MR. KLEIN: Okay. This is Joel Klein
5 again. We have a definite commitment to
6 incorporate the mechanism. Now whether we're
7 going to have agreed-upon carbon values to put
8 into the model is very questionable.

9 In fact, I've been told that we probably
10 won't. But I'll let Al finish that one.

11 (Laughter.)

12 MR. ALVARADO: Well, I think the target
13 for any value of any carbon allowances or
14 attributes really is a shot in the dark. But, at
15 least with this tool we will be able to examine
16 how different carbon values can affect the
17 levelized costs of a plant. So at least we can do
18 a sensitivity study of a different range of
19 values.

20 PRESIDING MEMBER BYRON: Good. Thank
21 you.

22 MS. KOROSK: All right, if there's no
23 other questions for Al, let's move on to Jerry
24 Braun, who's going to talk to us about future
25 energy costs.

1 (Pause.)

2 MR. BRAUN: Good morning, Commissioner
3 Byron, Ms. tenHope, Ms. Chew. I want to say a
4 couple of words of introduction in terms of how
5 PIER's effort fits into the overall cost of
6 generation work.

7 We are providing a --

8 PRESIDING MEMBER BYRON: Mr. Braun, go
9 ahead and bring that microphone up closer so we
10 can all hear you better.

11 MR. BRAUN: Sorry, sorry.

12 PRESIDING MEMBER BYRON: Thank you.

13 MR. BRAUN: Our task is to provide the
14 data that goes into the levelized cost models.
15 And this is probably at least a second iteration
16 on that. And we have been working closely with Al
17 and Joel and their colleagues to make sure that
18 the data is in the right format, and is what they
19 need.

20 And I would also mention that we have a
21 number of our PIER renewables staff here when the
22 time comes to answer questions on specific cost
23 items and technologies.

24 I've titled this multiple moving
25 targets. And I think what brought that to mind

1 was my first exposure to levelized cost analysis
2 was as, I won't say how long ago, but a very long
3 time ago, as a young nuclear engineer.

4 And the burning issue of the time was
5 whether the levelized costs of nuclear were 7.9
6 cents per kilowatt hour versus the levelized costs
7 of coal at 7.8, or vice versa. And that was how
8 complicated things were, and these were not moving
9 targets. They moved over that range.

10 We now have a lot more targets and
11 they're moving a lot faster. And so we have a
12 bigger challenge.

13 Whoops, that's not the right place. I'm
14 not done.

15 (Laughter.)

16 MR. BRAUN: So, what I'd like to do is
17 emphasize the questions of the big things that
18 change. Scale is a big issue. Commercial and
19 industrial readiness is a big issue. And then
20 within each generic category there is a great
21 diversity of options.

22 So what -- we'll try to kind of
23 illuminate these various ways things can change
24 and why they change and how fast they can change,
25 and what's driving things. And then talk a little

1 bit about the research that probably needs to be
2 done in the future to get a better grip across the
3 board on renewable costs. And why we designed the
4 study the way we did to support the cost of
5 generation project.

6 I'd like to suggest a couple of issues
7 to keep in mind as we go through the charts. And
8 we'll come back to these. But we have a challenge
9 to do cost estimation not only in the context of
10 proliferating array of options, but also very fast
11 changing cost drivers and very many cost drivers.

12 And we probably have a need for new
13 metrics and methods, especially to evaluate
14 variable resources such as wind and solar.
15 Because, in effect, the levelized cost approach,
16 revenue requirements approach, works very very
17 well for baseload type generation. But -- it
18 gives you a cost, but it may not be an evaluated
19 cost.

20 And I should also mention that while
21 today we're focused on central station renewable
22 options, and other reference technologies, we have
23 also included in the cost data generation effort
24 an initial attempt to get a handle on community
25 and building scale renewable technologies.

1 And this is kind of, on the left you see
2 a long list of generic renewable options. And
3 you'll notice that I've divided them into three
4 categories. The ones that we're going to be
5 talking primarily about today are utility scale
6 renewables. But you're also aware that at the
7 other end of the spectrum renewables are being
8 applied on buildings. And if you scale up the
9 building scale technologies, scale down the
10 utility scale technologies, you have a wide range
11 of community scale options.

12 And the thing that we need to remember
13 is that in California certain of these options are
14 commercial, certain of them are emerging, and
15 certain of them are both. And that is there's a
16 commercial industry, but there's also a lot of
17 venture-funded development of new variations.

18 And likewise, we need to remember that
19 while in the rest of the world many of the
20 renewable technologies are commercially applied.
21 In California the emphasis has been on utility-
22 scale technologies. And if you look at the right-
23 hand column, in particular you'll see really only
24 one building scale technology that is in
25 commercial deployment. Whereas there are several

1 that offer very good cost effectiveness.

2 So, I won't go through the long list on
3 the left because I've got some charts to cover
4 that, cover each of those aspects. Resource to
5 conversion technology, end product, equipment
6 plant, financing and that sort of thing. And
7 deployment experience.

8 But the point is that, you know, we kind
9 of have a new ballgame as we look to how the RPS
10 is to be achieved, and how other renewables
11 deployment could be achieved. And there are
12 significant issues of costs and risk that affect
13 economic value and affect price.

14 And this is Al's chart. And just to
15 point out that in order to generate data for
16 modeling, the best approach really is to look at
17 projects that are actually deployed as proxies for
18 the generic groups of renewable technologies.

19 That way we can come up with the
20 detailed data. But we need to recognize that they
21 are just proxies. In particular, even the
22 commercial technologies have a lot of variations.
23 And then now that we're seeing a lot of venture
24 capital going into the emerging renewable
25 technologies, the variations are just

1 proliferating.

2 So I'm going to start with resource
3 quality, and just indicate that this is a cost
4 driver. Using wind and concentrating solar as
5 examples, you know, what we tend to do and what
6 we're able to do is to provide an average resource
7 quality that is the daily average output of solar,
8 wind and those options.

9 But, in fact, the plants don't operate
10 on average resources, they operate on what comes
11 in every day. And there's a lot bigger variation
12 on a daily basis.

13 And likewise, in some renewable
14 technologies the resource varies. It actually --
15 and geothermal is a good example that I'm sure
16 you're all aware of that when you exploit a
17 geothermal resource it affects the long-term
18 quality of the resource. And that needs to be
19 managed. And it's a cost estimation issue, too.

20 The best example that I could think of
21 of technology variations is the central station
22 solar thermal, concentrating solar thermal power
23 plants, and concentrating photovoltaics.

24 And as you -- the issue of scale comes
25 in very heavily here. There is one technology

1 that has been deployed at scale. The other, and
2 that's the top left. The others have yet to be
3 deployed at scale. And there is significant risk,
4 whether it's healing up the power plant, itself,
5 or scaling up the manufacturing of all of the
6 replicable pieces of the plant.

7 And so these are not -- the costs will
8 be different because these are -- financing costs
9 will be different because of risk. And these
10 technologies are at different points on their own
11 learning curve.

12 Energy capture is another interesting
13 question. A variation within each generic option,
14 and particularly the variable renewables. If you
15 want the maximum energy capture with solar, you
16 aim something directly at the sun and concentrate
17 the sunlight. And you can get efficiencies up to
18 30 percent and very high capacity factors.

19 If you want to minimize installation
20 costs you simply lay things flat on a flat roof.
21 And that, of course the sun is never coming
22 directly perpendicular to that surface, so you're
23 sacrificing energy capture in order to capture
24 cost savings.

25 In the wind, relative to wind we have a

1 similar situation. You can measure the wind speed
2 at one point, the hub of the rotor. And that
3 should tell you -- that would tell you what would
4 happen if the wind speed at every height were the
5 same. But it's not.

6 And so you don't have a perfect
7 deterministic power curve for wind turbines. So,
8 another thing, performance affects cost, to the
9 extent that we're looking at cost per kilowatt
10 hour. Because performance determines kilowatt
11 hours.

12 Enabling technologies are a factor that
13 we probably are not dealing with well at this
14 stage, but we need to in the future. It's
15 probable, in my opinion, that solar and wind power
16 plants will include energy storage in the future
17 in order to optimize their economics and their
18 profitability.

19 Utilities may deploy energy storage, but
20 I expect that in some cases, or a lot of cases,
21 long term the storage will be included in the
22 plant, itself.

23 We also have variations in end products.
24 We're talking about central station electricity
25 here. But the question of how much of the

1 resource is available for central station
2 electricity when there are other end uses. And
3 that, of course, effects sort of a competition for
4 resources that will affect costs.

5 My view would be that the most
6 profitable end uses for bioenergy will drive
7 innovation and industry growth, and we don't know
8 yet which of these end uses are going to be the
9 most prevalent.

10 The other thing is that the value chain
11 in biomass is particularly lengthy. And
12 conversion is only one part of it. There's a long
13 value chain in terms of collecting the fuel and
14 getting it to the conversion point. And there's
15 also a value chain beyond that in terms of
16 collecting the output and storing it and
17 delivering it.

18 So, this makes -- this is a particularly
19 difficult cost estimation issue. And the data may
20 not all fit into the models that we have
21 precisely.

22 We know that manufacturing scale,
23 particularly in technologies that use a lot of
24 identical parts, can drive learning, or the scale
25 of manufacturing can drive learning, as in the

1 case of PV. So, market size and the rate of
2 growth can be significant cost drivers.

3 And you have to be a little careful in
4 looking at the learning curves on things like
5 this, because there are -- sometimes things can
6 change, as has happened in the last few years with
7 photovoltaics, where the industry shifted to a
8 higher, basically ran out of cheap materials and
9 needed to switch to more expensive materials.
10 Which, you know, changes the dynamic, changes the
11 learning curve.

12 And it also actually, as you can see in
13 the little inset, some significant volatility in
14 the rate of demand growth and the rate of revenue
15 growth, and the module prices.

16 And within each category of renewables,
17 and I've used photovoltaics as an example here,
18 the material cost drivers are different because
19 the materials are different.

20 And each source of materials, as you
21 look ahead to very high volumes of deployment, you
22 have to look at the supply curves for those
23 materials. Crystalline is abundant, silicon is
24 abundant. Some of the other materials that are
25 used in thin film and for as kind of doping and

1 other materials in the manufacturing process, are
2 not as abundant. And their prices affect cost.
3 And will depend on how much of them is used and
4 how they're produced.

5 Again, in many cases, we're kind of
6 piggybacking on other industries in terms of the
7 materials that are available for photovoltaics
8 manufacturing.

9 Plant scale. You would think that on
10 thermal power plants there'd be an optimum scale.
11 On a geothermal, the geothermal data for
12 California suggests otherwise. And thermal power
13 plant scale really does affect the cost of the
14 thermal power plant.

15 My guess is this factor of ten spread in
16 plant size is probably related to other factors
17 other than optimizing the conversion plant.
18 Resource collection and so forth are one thing,
19 and then regulatory factors are another that would
20 drive plant scale. But plant scale, in turn,
21 drives costs.

22 PRESIDING MEMBER BYRON: Mr. Braun, was
23 that last -- was that dollars per megawatt hour?

24 MR. BRAUN: No, I'm sorry, that isn't
25 properly labeled. It is megawatts, actually.

1 PRESIDING MEMBER BYRON: Okay, thank
2 you.

3 MR. BRAUN: Another case is where you do
4 have the option to make the power plant, renewable
5 power plant pretty much what you want it to be,
6 using thermal storage. And with thermal storage
7 you can vary the capacity factor of a solar
8 thermal power plant. You can also vary its
9 ability to deliver power on peak, and when you
10 deliver power over the course of the day.

11 And our models, our levelized cost
12 models, really take into account, you know, you
13 can specify what the plant will do. And guess at
14 what, you know, what amount of storage will be
15 used. But, in fact, the decision on what will be
16 done is ahead of us and will depend on, you know,
17 probably the configuration of the plants will
18 depend on the level of penetration and how the
19 market is structured to value the things other
20 than kilowatt hours.

21 Equipment modularity is a factor in
22 costs in the sense that they're inherent
23 modularities. I've used a couple of examples
24 here, going back to the solar dish technology.

25 Typically the progression would be from,

1 you know, small scale to larger scale, to larger
2 scale, to larger scale, to larger scale. We're
3 seeing some projects that go directly from one
4 module to 10,000 modules. And, you know, that is
5 not a typical progression in terms of
6 commercialization of a technology.

7 So we may see some of these technologies
8 deployed in entry markets and intermediate
9 markets, as they scale up. And that also will
10 affect their cost in getting to the complete
11 economy of scale.

12 This is more of a price, I guess, than
13 cost. But I wanted to mention it. You know, the
14 photovoltaic module and others, a case of that
15 technology, is the same whether you put it on a
16 home or in a large array on the ground.

17 However, the cost of everything else
18 varies significantly so that even though the most
19 expensive part of a photovoltaic plant, you know,
20 it costs the same no matter how you use it, the
21 cost of energy from a central station plant is
22 probably less than half of that for a residential
23 roof. Because of the costs of transacting
24 business in the market, primarily.

25 And so, you know, it's kind of fortunate

1 in a way that the commercial rooftop projects are
2 financed against avoided commercial utility rates.
3 And the larger projects are project financed
4 against the wholesale avoided costs. And so it
5 kind of balances out. You got, you know, you got
6 lower prices, but you have lower cost systems.

7 And this is something I wanted to bring
8 up, too, because this is something that did happen
9 at one point in one case. And it's not really
10 happening now. And it's a major issue, or major
11 factor in reducing costs.

12 You may remember the solar thermal power
13 plants that were deployed in the '80s, eight
14 separate projects, spaced one year apart. Six of
15 them were exactly the same size. And because of
16 that replication every plant that was built was
17 based on what was learned last year. And the
18 costs came down very very nicely.

19 If we could figure out a way to
20 replicate that kind of process, and I suspect the
21 policy tools to do that are lacking, but that
22 would go a long way toward taking renewable power
23 costs from where they are today to where we would
24 like them to be for the large-scale deployment.

25 I said I would come back to the issues

1 of kind of in the sense of what we're doing about
2 them, what we would recommend be done about them.
3 I really do believe that the best thing we can do,
4 along with the kind of snapshot we're doing here
5 every couple of years on costs, would be to really
6 dig into the costs of the technologies and the
7 options that are commercial, that we think are
8 most likely to be deployed on a very large scale.
9 And really understand how their costs are
10 affected, not just by our experience in
11 California, but by the global, the dynamics of the
12 global market.

13 And I would mention to you that we have
14 four renewable energy collaboratives that are
15 doing research in renewable energy. And one of
16 their tasks is to help us understand costs in a
17 more in-depth way. And so we, in the future,
18 would expect some contributions from these
19 collaboratives on the subject.

20 The other issue is metrics for
21 evaluating variable resources. And I'll focus on
22 that in particular. It's interesting that when
23 renewable costs -- I do remember this, too, when
24 renewable costs were so -- when there was really
25 only one renewable option that anybody was looking

1 at, it was solar thermal.

2 And nobody cared about the costs, or the
3 utility industry didn't care a lot about the costs
4 because they knew it was expensive. But hoping
5 that the costs would come down.

6 And so the way it was evaluated was not
7 by looking at its levelized costs, but by
8 basically plugging it into a model for the entire
9 electric system. And the model optimized the mix
10 of resources and so forth, and gave you a number
11 which was the cost of electricity generation every
12 year for the whole system.

13 And plugging solar into that model and
14 comparing what the total system cost would be with
15 and without solar gave you a value of solar at
16 different levels of penetration and with different
17 amounts of energy storage.

18 And I really do think we need to get
19 back to that way of looking at the variable
20 renewables because it's a more robust approach
21 that gives you a sense not just of what they cost,
22 depending on what you assume for their capacity
23 factor, but what other avoided costs are produced
24 in terms of both the rest of the generation system
25 and the transmission system.

1 Now, to the study that we've
2 commissioned to generate data for the cost of
3 generation project. I mentioned that we're trying
4 to simplify our task by focusing on commercially
5 established options and proxies that are, you
6 know, where the data's available. But also
7 assessing the potential for future technology
8 shifts.

9 And I think your question, Commissioner
10 Byron, related to the difference between merchant
11 and IOU and muni financing kind of got to this.
12 We need to sanity check the cost estimates using
13 price data from the market. And that's something
14 that's part of our scope.

15 We need to model the evolutionary
16 changes based on our understanding of the cost
17 drivers. And we're doing that.

18 And we are also, just so you know, we're
19 focused on central station costs today, but we are
20 going to take a preliminary look beyond utility
21 scale at the other deployment levels.

22 So, in summary, we have quite a bit of
23 data on utility scale options. And a lot of
24 project development going on. Community scale,
25 there's some pilot projects and a lot of

1 regulatory barriers. Building scale,
2 photovoltaics is certainly approaching an energy-
3 significant phase.

4 And, in general, across the entire
5 spectrum of renewables we basically just have a
6 lot of escalating diversity and endless variation
7 to deal with.

8 So, the consultants study is really
9 designed to do two things. First, support EAO and
10 the IEPR process, and the project that's
11 supporting the IEPR. And then also to bridge to
12 what I would call a more aggressive or more
13 comprehensive analysis of future costs.

14 And this is the place where my thank-you
15 slide actually belonged, so, thank you.

16 (Laughter.)

17 PRESIDING MEMBER BYRON: It's always
18 good to start at the end. Mr. Braun, very good
19 presentation. And thank you very much. I
20 chuckled on the second bullet in your summary
21 about the diversity and endless variation. I
22 suspect that will continue. And we're going to
23 see more.

24 We're going to see better designs and
25 we're going to see more efforts to squeeze out a

1 little more efficiency here and there,
2 particularly when we get into the storage issues.

3 You know, some of these technologies I
4 actually worked on as a young engineer, as well,
5 after my nuclear period, concentrating Stirling
6 engines and troughs, almost 30 years ago.

7 And while you were speaking I was
8 thinking, have you had a chance to look at some of
9 the designs of these large utility-scale projects
10 that are being considered at this time?

11 MR. BRAUN: Yes, I've had a chance to
12 look at some of the newer ones. It's quite
13 interesting. You know, the creativity in trying
14 to differentiate from the current offer so that
15 you can attract venture capital funding, it's an
16 interesting stage.

17 PRESIDING MEMBER BYRON: So I know your
18 analysis is technology-based. We include the
19 costs of land in all of this, and the mitigation
20 of land that may be necessary. And maybe the
21 unknown development costs at this point. Do we
22 consider that kind of factor, which we never did
23 before. Do we look at that now? It could be
24 substantial.

25 MR. BRAUN: Technically, yes. I believe

1 that's true. Have we looked at it in the -- maybe
2 in the context we need to in the future, which is,
3 you know, the environmental -- what needs to be
4 done to accommodate to environmental concerns and
5 those sorts of things, we haven't really started
6 to do that. I think that would be part of the
7 more comprehensive analysis that we need to do.

8 PRESIDING MEMBER BYRON: I think it's
9 going to be more substantial than we thought.
10 Well, thank you, very good presentation.

11 (Pause.)

12 MR. HINGTGEN: Well, good morning. I'm
13 John Hingtgen from the energy generation research
14 office in PIER. And I'm going to present a brief
15 overview of the renewable study that we are having
16 done, at the outline level. I'm managing the
17 renewables portion of this for the Commission.

18 I'll give an outline view of the study
19 scope and schedule. Then we'll have the
20 presentation by the consultant that the Commission
21 has hired to do this work. Following that will be
22 questions and comments here in the workshop. Then
23 there will be a comment period of one week from
24 today. And then following that we'll use the
25 input in final results that will be prepared for

1 this work.

2 So the study involves six tasks within
3 its scope. The first four of these tasks will be
4 looked at here today. First we're going to
5 identify the commercial renewable energy
6 technologies in California and their scales of
7 deployment.

8 We'll look at marketing and industry
9 changes affecting costs, current trends and cost
10 drivers for each technology. We'll provide
11 current costs with minimum and maximum costs for
12 the recommended technologies. And then create a
13 model to estimate future costs using current costs
14 and cost drivers.

15 The final two tasks will be not reviewed
16 today, but they will be ready in the future in
17 June. That is to reconcile prices and costs for
18 utility-scale purchases considering factors other
19 than costs and the pricing. And then to estimate
20 costs and cost trends for community and building
21 scale technologies and explain cost variations.

22 The final results for all tasks will be
23 ready in August.

24 So to break this down a little bit
25 further. The first task we're going to be

1 identifying commercial renewable energy
2 technologies in California. First by reviewing
3 key studies by the CEC and other agencies that
4 have looked at this. And then recommending
5 particular technologies by scale for detailed
6 analysis.

7 And this will be broken down into three
8 size groups, as Gerry alluded to, the larger
9 utility scale of over 20 megawatts; the community
10 scale of one to 20; and then building scale of
11 under one megawatt. And the community and
12 building scale results will be ready later.

13 The commercial embodiment of each
14 technology will be identified now and ten years
15 out from now, in 2018. And for this study we've
16 included nuclear and IGCC technology also as other
17 low-carbon electricity sources.

18 And the second task we're looking at
19 cost drivers, identifying market and industry
20 changes since the last cost of generation study in
21 2007. Identifying trends that affect cost; and
22 then identifying specific cost drivers for each
23 technology. For example, the scale of a plant
24 would be a major cost driver.

25 And the third task, current costs are

1 being examined. Current costs more in the
2 recommended technologies, nuclear and IGCC, are
3 being provided. The format of this is going to be
4 in a format that's useful in the modeling effort
5 of the electricity analysis office over the larger
6 cost of generation modeling of all technologies
7 that are significant in California.

8 And then maximum and minimum costs for
9 the recommended technologies are being provided.
10 In this context, the maximum cost is one that more
11 than one competitive market player would pay. And
12 a minimum is the cost that the lowest cost that's
13 been recorded for commercially representative
14 projects.

15 Finally, the fourth task, trajectories
16 of costs are being looked at. We're going to be
17 developing a model using the cost driver
18 information to estimate future costs for the 20-
19 year period for utility-scale technologies. And
20 then refining this model by looking at current
21 costs with it.

22 So, in summary we're looking at
23 particular renewable technologies, nuclear and
24 IGCC, deployment at the utility scale, data that
25 can be used as a format for the cost of generation

1 modeling. And then considering the implications
2 of this for broader energy planning and
3 policymaking in California.

4 Comments will be taken up until the 23rd
5 at 5:00 p.m. To comment indicate the docket
6 number and the title of this workshop. They can
7 be either mailed or delivered to the dockets
8 office here at the Commission. If they're
9 emailed, please also send a hard copy.

10 Now, I'd like to turn it over to our
11 consultant, which is KEMA, and introduce them and
12 their team. KEMA is an international energy
13 consulting firm with headquarters in the
14 Netherlands, and a U.S. subsidiary.

15 They have approximately 350 staff in the
16 U.S. with expertise in energy markets,
17 distribution and transmission, renewable energy,
18 distributed energy and energy efficiency. And
19 they have amassed about 30 years of energy
20 experience in the U.S.

21 So, I'd like to introduce Kevin
22 Sullivan, who is the technical leader of the KEMA
23 team. And then he'll call upon others on their
24 team as appropriate at the right time.

25 MR. SULLIVAN: Good morning. My name's

1 Kevin Sullivan with KEMA. And just a little bit
2 of background. I head up what we call the market
3 issue generation services.

4 I will be bringing Chip O'Donnell to
5 share some of the load as we go through a
6 tremendous amount of material that you have in
7 front of yourselves. So it will also save my
8 voice, because I did lose it earlier on this week.
9 So, please bear with us.

10 I first would like to say that this is a
11 huge opportunity for the industry. I want to
12 acknowledge the leadership shown by the CEC team.
13 And certainly the collaborative nature of this
14 study has been an excellent part of forming the
15 leadership, not only in California, in the United
16 States, but also globally in the direction of
17 renewables.

18 We've actually got a fairly large agenda
19 here to go through. I'll spend a couple of
20 minutes talking about the approach and
21 methodology. And then we will swap out between
22 Chip and myself to go through the various
23 technologies that we have listed here.

24 I think the approach and methodology,
25 and John did a good description of the various

1 tasks that we have to address as part of the
2 study. But I think the critique of the existing
3 documents has formed a very good basis. The 2007
4 IEPR report formed a good platform to build the
5 deltas and the differences that we see, not only
6 in cost of generation, but also in the change in
7 technologies. And the mix of central plant
8 technologies that we selected.

9 The important thing to look at is the
10 recommended utility scale renewable energy. When
11 we go through that list you'll see we have a
12 variety of different technologies including
13 fossil-based technologies. And I think that shows
14 a lot of leadership and insight to make this
15 report a lot more valuable for the industry in
16 general.

17 The overall process that we followed was
18 first of all, to review primary documents that we
19 have as reference documents that the CEC has done
20 in the 2007 IEPR. And looking at the review of
21 that existing material generated a augmentation of
22 that knowledge, with a global database. In fact,
23 we used a lot of our global reach into Europe to
24 make sure that we would actually look at
25 technologies that are not just present here in the

1 United States, but also manifested in Europe to
2 some extent.

3 There is also a, I'd like to say
4 something about modeling. I think you have a
5 great model here, but we have used a collaborative
6 exchange with the GreenX group in Austria, that
7 also cover a modeling technology in a different
8 fashion for the Europeans.

9 Taking that input we then looked at an
10 update for the renewable energy technologies. In
11 parallel to that, we looked at the industry input
12 and the cost drivers.

13 In the handouts that you have you will
14 see qualitative statements regarding cost drivers.
15 There's a lot of further detail that will be done
16 in putting that into quantitative data as we go
17 forward.

18 The other input was very important for
19 us, is the industry has put on production and the
20 actual delivery costs for these various renewable
21 energy technologies.

22 That merged into the final box on the
23 right-hand side here which is really the market
24 trends and the future projected costs, which forms
25 the input for the esteemed model that you have for

1 doing levelizing costs. And the data that you
2 have actually is the input data in its raw form
3 that'll eventually go into the levelized cost
4 model.

5 I thought it was worthwhile spending a
6 bit of time just talking about the technology
7 selection criteria. And as you'll notice that the
8 list that Gerry and John and Al mentioned is very
9 different in some aspects. First of all, in size
10 and in appropriateness for the market, as the
11 moving parts in the market change.

12 We looked at what technology was
13 commercially available and who's using it. We
14 also looked at how many projects there are
15 worldwide, and have the started, and what phase
16 these projects are in.

17 And then we took into account the
18 commercial nature of these projects. And you'll
19 see some of the things like capacity factors that
20 we have in our data is based on actual averages
21 that we see from plants that are actually
22 delivering. Very different to what maybe could
23 have been the planned capacity factors for the
24 plants that were done in prior reports.

25 And then we looked at, you know, are

1 there any things that make it difficult, and is
2 the technology viable in California. And, you
3 know, one of the subjects there might be nuclear.
4 But a very good benchmark to have nuclear in the
5 mix of technologies that we looked at.

6 Along with that we looked at around the
7 world what's commercial, what's being produced,
8 what new technologies coming up. But, again,
9 looked at what's viable in California. And then
10 took some consideration for the political climate
11 in the area.

12 So the list that we have actually to
13 review is fairly extensive, but I'd like to just
14 make a few comments to the sizes. And the
15 approach that we took was if you look at the gross
16 capacity numbers in megawatts, first of all the
17 list, itself, in the vertical form is different to
18 the original 2007 IEPR report, based on what we
19 think are commercial technologies today.

20 But secondly, the sizes and the megawatt
21 sizes are designed to be modular. So, for
22 example, a offshore wind class 5 you could see a
23 megawatt capacity of 350 megawatts. It could
24 consist of various phases of 50 megawatt windparks
25 put together.

1 Another example would be if you look at
2 solar parabolic trough. You have 250 megawatts as
3 a size. It could consist of five 50 megawatt
4 steam turbines.

5 So it was very important for us to look
6 at modularity so that we could actually drive the
7 cost of generation in that direction.

8 The other point on the extreme right on
9 this list is to note that some technologies we
10 deemed were not really commercially viable until
11 2018. And just to point those out, the biomass
12 IGCC technology, while it's very exciting, is a
13 scale issue and probably look at that starting in
14 2018.

15 We also took the time to look at the
16 wind, obviously doing onshore wind is a priority
17 before you do offshore wind. In most cases when
18 we can capture a category 5 wind onshore we'd
19 rather do that, than to do the offshore. So we
20 looked at that starting 2018.

21 And there's still a lot of developments
22 in that area, and we'll come onto those as we go
23 through.

24 And then wave action is a very nice demo
25 environment today, but not commercially viable.

1 Probably we hope that by 2018 we'll see some
2 commercial viability there.

3 PRESIDING MEMBER BYRON: So in the
4 offshore wind, of course, in Europe, Denmark
5 particularly, there's been a lot of offshore wind
6 that's been operating for a long time. So why
7 would you class this as being something that's
8 start data is at least another ten years out?

9 MR. SULLIVAN: Actually we have the cost
10 data that could be deployed earlier. But it's
11 very location-specific. And depending on
12 geography's depth and/or mounting technologies,
13 the cost to generate in the offshore environment
14 is very difficult to levelize.

15 We think that'll become a little bit
16 more routinized as more people go and do that
17 offshore around Europe and certainly Holland.

18 So I'd like to start with a group of
19 biomass technologies. The map of the U.S. showing
20 biomass resources is indicative of the reason why
21 we selected basically four types of biomass
22 technologies.

23 We're going to talk a little bit about
24 the using stoker boilers, which is very
25 conventional. Also fluidized bed boilers. But

1 very exciting to look at, also, biomass cofiring.
2 And when we use the word cofiring, just from a
3 terminology point of view, we mean taking existing
4 coal-fired power plant and burning a certain
5 percentage of biomass in that power plant. And
6 what you're doing there is replacing coal Btus
7 with biomass or renewable Btus.

8 And then another exciting technology is,
9 of course, the biomass when you can take syngas
10 and use it in an IGCC process.

11 So, there's a fair amount of material
12 here. We'll go through it fairly quickly because
13 I think most of you have copies, but I think the
14 message here on stoker boilers is that it's a very
15 standard technology, been around for many years.

16 The idea there is that you can actually
17 have a biomass thin layer at the base of the
18 boiler and burn biomass fairly effectively using a
19 stoker boiler. Very mature technology. So that's
20 another reason why we selected it. And also
21 selected it in approximately 40 megawatt unit
22 sizes.

23 Example here on the left is a woody
24 biomass stoker boiler. These are the kind of
25 boilers that have been -- there are a number of

1 them around the United States. So, very commonly
2 used technology. It is not the most clean-burning
3 process that you could have.

4 So, hence, we looked at the cost
5 drivers. One of the things about burning biomass
6 in any boiler technology is really the type of
7 biomass determines a lot about the viability and
8 cost of generation. And also the availability and
9 the reliability of that biomass source will
10 determine a lot to do with the capacity factor for
11 that.

12 So fuel transport and handling are big
13 factors. We think the boiler island costs, of
14 course, in all these costs of -- cost drivers, of
15 course the plant is a major cost driver in all
16 cases.

17 But the cleanup required in either SCR
18 or SNCR technology, catalytic technology, is also
19 key, an economic cost driver in burning biomass.

20 And a big factor is whether you can play
21 into an existing plant with a biomass plant,
22 augment it into the existing infrastructure, or
23 whether it's a greenfield plant.

24 The kind of sizes we looked at was
25 around about 38 up to 40, and in the low case, 25

1 megawatts, to come up with some cost data for this
2 kind of plant.

3 I think it's probably on the current
4 cost it's clear that you'll notice that sometimes
5 we mix up here dollars and gigawatts and
6 megawatts. Apologize for that error.

7 But we're looking at a fairly low-cost
8 initial cost, and a fairly good perspective in the
9 cost projections for this kind of technology.

10 Moving on to the fluidized bed boiler.
11 The neat feature about this technology is that it
12 creates a fire boil, if you like, within the
13 boiler, itself. You get much more effective
14 combustion. It actually looks like a fluidized
15 mass of biofuel within the boiler, itself. And as
16 you get more complete combustion your pollutants
17 are lower, and your heat factor and Btu transfer
18 from the biomass is much more effective. So you
19 have a flexible fuel capability, and good emission
20 characteristics.

21 An interesting plant, actually, on the
22 left in this diagram is one in Minnesota. It's
23 about a 70 megawatt -- turkey litter is the
24 correct word, I think, to use. But it is a --

25 PRESIDING MEMBER BYRON: Is that the

1 name of the plant or the fuel?

2 (Laughter.)

3 MR. SULLIVAN: That's the name of the
4 fuel. And they've managed to keep the environment
5 such that you cannot smell the fuel. But that is
6 also a very good proven technology, not used very
7 often in biomass, but the fluidized bed boiler is
8 well proven. A higher carbon burnout, of course,
9 which is important for the environment. And it
10 shows that you have more fuel flexibility. And
11 when you're dealing with biomass, don't expect
12 consistency.

13 So, relatively low combustion
14 temperature also important. And the one aspect is
15 to look at the sulfur emissions, which is an
16 important part of the pollutant controls.

17 And, again, here the supply of the
18 biomass, itself, as you can imagine when you're
19 dealing with turkey litter, one, you have to try
20 and transport that so that you don't cause
21 accidents on the highway due to obnoxious smells.
22 But it's also the transport handling is fairly
23 expensive. The boiler island, itself, is
24 expensive and the O&M costs are fairly
25 considerable.

1 Those are main drivers. We also see,
2 looking at about 28 megawatts was the model size
3 on the turbine and the boiler, and we came up with
4 projected costs that are fairly reasonable and
5 viable, assuming you can have the supply chain in
6 place.

7 The cofiring technology, I mentioned
8 that earlier, is something there's been a lot of
9 discussion about. And the reason why, I think,
10 the leadership of the team adding this to the list
11 of technologies is very key.

12 This is one way you can use existing
13 infrastructure and inject biomass into various
14 parts of the combustion process in order to
15 optimize and replace, if you like, fossil fuel
16 emissions.

17 So, you know, this diagram gives you an
18 idea of a very large existing power plant shown
19 here, where a single unit within that plant had
20 around about 20 percent cofiring. When we use the
21 figure 20 percent, we mean 20 percent electrical
22 equivalent. So if you have a 100 megawatt boiler,
23 electrically 20 megawatts would actually be
24 derived out of a cofired biomass fuel source.

25 So, cofiring technology makes use of

1 that existing coal-fired infrastructure. There's
2 a lot of experience being gained where to inject
3 and how to best insert biomass into an existing
4 power plant. And the modifications are not too
5 significant. It's all on the fuel-handling side,
6 not so much on the downstream electrical
7 conversion process.

8 Key drivers, of course, again the supply
9 of that biomass. And, I think, the reluctance
10 that a lot of operators have in having to deal
11 with an intermittent supply of biomass. Or even
12 burning something that isn't nice, clean coal.

13 So there's those kind of factors that
14 determine cost. Of course, you need real estate
15 for storage. You need the fuel feed
16 quantifications. And you need to check on the
17 emissions, particularly the selective catalytic
18 reductions, because the contaminants coming out of
19 the biomass flue gas can actually affect the
20 deterioration of catalysts in these power plants.
21 And affect your SCR.

22 PRESIDING MEMBER BYRON: Mr. Sullivan,
23 we have very little coal being burned in
24 California. Are you aware, how many plants are
25 doing this throughout the rest of the United

1 States?

2 MR. SULLIVAN: I believe the number is
3 close to about 20 plants, in various stages. And
4 I am aware of the fact that probably every coal-
5 fired power plant that has local woody mass
6 biomass available has done a study to analyze the
7 effect of cofiring. And we've been involved in
8 that effort.

9 So, we're excited about a lot of these
10 going forward. And we do realize that in
11 California, you know, four or five plants that are
12 coal-based. However, in meeting an RPS maybe the
13 neighboring states could contribute. And just
14 replacing some of that coal with biomass has a
15 huge effect on the RPS emissions, assuming biomass
16 is seen as a renewable.

17 PRESIDING MEMBER BYRON: Thank you.

18 MR. SULLIVAN: And if you look at the
19 cost projections, you know, because you're dealing
20 with an existing asset, an optimizing existing
21 asset, you know, the cost range you can see on
22 this chart is very low compared to the other forms
23 of renewable on a megadollar per megawatt basis.

24 PRESIDING MEMBER BYRON: So this is an
25 incremental cost essentially -- making changes

1 that are necessary to --

2 MR. SULLIVAN: Correct, yeah. This is
3 only the cost associated with making modifications
4 to an existing plant. And we picked a 100
5 megawatt unit to model.

6 MS. tenHOPE: I think there's a typo on
7 the cost where the -- or they're transcribed
8 between the average and the high cost? You might
9 just want to take a look at that, because the
10 average is -- am I looking at the right one?

11 MR. SULLIVAN: Yeah, I think you're
12 quite correct. We picked up a couple of typos --

13 MS. tenHOPE: Oh, no, it was on slide
14 16, sorry.

15 MR. SULLIVAN: Yes. Thank you.

16 Biomass used to create syngas, and then
17 that syngas going into an integrated gasification
18 combined cycle is the fourth technology that we
19 studied.

20 And this is the one that I indicated
21 would be much more viable around about 2018. But
22 it is an interesting process because of the
23 efficiencies involved in converting the biomass
24 first into a gas, and then using it in an
25 integrated gasification combined cycle plant.

1 So, key characteristics, of course, is
2 the direct single stage and -- thermal pressurized
3 fluid beds gasifiers that need to be in place.
4 Heat exchangers that operate around about 400
5 degrees C. And the nice thing is that you're
6 burning clean gas in classical gas turbines. And
7 the residual heat is used as part of the steam
8 cycle, as well. So you can take the waste heat
9 and reconvert that in a combined cycle process.

10 I think this technology gives biomass an
11 access to much greater efficiencies. Certainly in
12 gas-fired power plants, the deployment and
13 utilization of existing gas turbine technology is
14 enabled here, as well. So the commercial
15 deployment, I think, is a very exciting operation.

16 There are some plants that are running
17 in Europe, and a lot of the data we're collecting
18 are based on more or less pilot plants that have
19 been put in place for this kind of technology.

20 Again, the cost drivers end up always
21 being the fuel, itself, and the emissions. And,
22 of course, the type of gasification used, whether
23 using the shell process or FB, and I think some
24 other OEMs have license agreements on the
25 gasification process.

1 The costs, of course, are very close to
2 where you would expect IGCC technology to be --
3 combined cycle gas turbine technology to be, with
4 the additional cost of the gasification of the
5 biomass.

6 I was hoping to take a break here and
7 introduce you to Chip O'Donnell. Chip's been with
8 KEMA for a short period, but comes with huge
9 industry experience. And, Chip, if you could take
10 over from there.

11 MR. O'DONNELL: Good morning. My name
12 is Chip O'Donnell; I'm a vice president and market
13 issue principal with KEMA, and I am in the power
14 generation services arena. And also have an
15 extensive development background in both clean and
16 renewable energy projects. Today I'm here to talk
17 to you about the geothermal technologies that
18 we've evaluated.

19 Really there are four different types of
20 geothermal technologies, and the two that we
21 focused on as being the most commercially viable
22 are the flash power plants and also the binary
23 power plants.

24 There are combination plants and hybrid
25 plants that combine the flash and hybrid

1 technologies, but in terms of commercial viability
2 our research team felt that both the flash and the
3 binary plants were the most commercially viable
4 for the purposes of the cost of generation study.

5 The first type of geothermal plant, the
6 binary plant, basically is a closed loop system in
7 terms of the geothermal wells that are sunk into
8 the ground. The binary plant basically takes an
9 organic rankin cycle, which is a separate heat
10 transfer and exchange circuit that extracts the
11 heat from the ground and then passes it through a
12 power turbine going into a generator and into the
13 power process.

14 And so what that does is it basically
15 separates the heat streams so that any of the
16 production well material basically stays within
17 its own closed circuit and gets injected back into
18 the thermal reservoir.

19 Looking at the key cost drivers in terms
20 of binary geothermal. And I think, Commissioner
21 Byron, you had mentioned this before in terms of
22 land acquisition and site geography.

23 For geothermal, one of the key cost
24 drivers is first the identification of the
25 geothermal resource, and then the development of

1 the site, itself, in terms of land acquisition, in
2 terms of permitting and in terms of test well
3 validation of the resource. And that can take
4 often substantial time. It is somewhat variable
5 in terms of approach.

6 The turbine island cost is also a key
7 cost driver in terms of the equipment and the
8 production of that equipment, although I think
9 that is now stabilizing in terms of our view of
10 the experience curve in the industry.

11 Commercial companies such as Ormat have
12 done a good job of commercializing and levelizing
13 those equipment costs over time.

14 We've talked about exploration and
15 confirmation drilling as a part of the site
16 geography and acquisition and development process.
17 The one thing that I would say from a development
18 standpoint that comes into play with geothermal is
19 that oftentimes, just like drilling for oil, gas
20 and other natural resources, sometimes these
21 processes can be variable as the technology is
22 commercialized by a private developer or a
23 utility. And so there is some variation and
24 variability in terms of the realization, in terms
25 of time. And time sometimes can affect the cost,

1 which would then affect the levelized cost of the
2 project.

3 Other cost drivers for binary are the
4 steam gathering, itself, and gathering the
5 resource into the plant, the royalties that are
6 often paid to the landowner, and the overall
7 operation and maintenance costs for the power
8 turbine and the steam cycle.

9 And I think one of the things that you
10 see in terms of the overall cost is that the
11 overall cost in terms of installed cost is
12 somewhat higher than that of biomass. The other
13 aspects is that the overall emissions profile for
14 geothermal tends to be a lot lower.

15 So from an environmental standpoint, it
16 tends to be a bit more friendly even though the
17 first cost of internal production is a bit high.

18 PRESIDING MEMBER BYRON: Mr. O'Donnell,
19 is the blue line on top of the magenta a line
20 there, are they coincident?

21 MR. O'DONNELL: Yes, that's correct.
22 And the idea around that is that the cost for most
23 of these plants are done within the same year that
24 they are produced. So, there isn't a time lag in
25 terms of the initial production and determination,

1 and then the realization of the project.

2 The second type of geothermal technology
3 that we've evaluated is the flash cycle. And
4 basically what that does is that the heated water
5 under pressure is separated in a steam separator
6 into steam and hot water.

7 Then the steam is delivered into the
8 power turbine producing power. The turbine powers
9 the generator and the liquid is reinjected back
10 into the thermal reservoir.

11 So what you have here, and this is one
12 of the more common geothermal technologies, is
13 that the actual production well and the flash
14 steam from the well ends up going through the
15 power turbine directly without the benefit of a
16 closed cycle.

17 And so sometimes, depending on the
18 nature and the characteristic of the production
19 well flash steam, you can get overall
20 environmental emissions as a result.

21 Overall, very similar in terms of flash,
22 very similar cost drivers to binary. And that
23 would make sense because the only difference
24 between the binary and the flash is the type of
25 cycle that is used once the geothermal, steam and

1 heat source is extracted from the production well.

2 So you have the same site geography
3 turbine island costs, exploration, confirmation,
4 drilling and gathering costs, and then royalties
5 and O&M expense.

6 One of the things to note in terms of
7 the data that we see is we also see an emissions
8 profile coming from flash geothermal technologies.

9 The nice thing about both geothermal
10 technologies is that the overall capacity factors
11 that can be realized are quite high once you've
12 validated the production thermal source. And so
13 that is something in terms of reliability of the
14 renewable resource that can be quite helpful in
15 terms of an overall energy and levelized cost
16 strategy.

17 And, again, relatively consistent values
18 in terms of geothermal dollars per megawatt, in
19 terms of cost again slightly higher, but still in
20 the ballpark range with biomass technologies.

21 The next technology that we'll evaluate
22 is hydroelectric technologies. And basically
23 hydro has been around for, you know, hundreds of
24 years. And I think the key is looking at the
25 different types of technologies that are available

1 and that are available to the state of California
2 in terms of production.

3 The types that we've looked at overall
4 is impoundment hydropower, which is typically the
5 normal dam hydropower where water is dammed, and
6 then the water passes through a penstock and power
7 turbines to generate electricity.

8 There are other types of hydro, as well.
9 Run-of-river hydro utilizes basically the running
10 flow of the river. And you see a lot of that in
11 the Pacific Northwest and WAPA.

12 And one of the aspects of run-of-river
13 hydro is that sometimes run-of-river hydro is not
14 always controllable. You get what you get from
15 the resource depending on the flow of the river
16 and the -- between the turbine penstocks and the
17 river, itself.

18 And then there's another type of hydro
19 power that's used, and that's diversion
20 hydropower. And that's where you actually take a
21 slipstream off of the river source, the hydro
22 source, and you run that through a canal and a
23 penstock and a turbine which produces electricity.

24 The most common type, as we've talked
25 about, is the impoundment or dam facility similar

1 to Hoover Dam. And the nice part about the
2 impoundment hydro resource is that you can control
3 it. You can control it to create more electricity
4 generation or less, depending on the needs you
5 have of built-in storage reservoir based on the
6 dam.

7 There are obvious environmental impact
8 issues, as we've seen, not just in the United
9 States over time, but also in China. With Hoover
10 Dam and the environmental protection of the Salt
11 River Project, as well as the Three Gorges Dam in
12 China and the environmental impact that
13 impoundment hydro has.

14 In conduit hydro tends to be a bit more
15 environmentally friendly in terms of environmental
16 impact. You're taking a slip stream off of the
17 river, so most of the river remains intact.

18 When we looked overall at hydro we
19 selected different size ranges that I think are
20 one of the key cost drivers as we look at the cost
21 of generation in the study.

22 Hydro is so site-specific and so
23 resource-specific that there is a wide range, and
24 a wide range of variation, in terms of not just
25 the generation cost, in terms of the generation

1 time to realize a project, but also in terms of
2 the type of technology that's utilized.

3 It very much is based on looking at the
4 available resource, and then matching the most
5 optimal type of technology to that resource.

6 And so there's a wide band and a wide
7 range of variation as we look at small scale
8 hydro, from 1.5 megawatts up to 30 megawatts in
9 size.

10 We've talked about the site geographies
11 as a key cost driver. Licensing and permitting is
12 also another key cost driver. And in the
13 realization of power projects, especially hydro
14 projects, obtaining licensing and permitting can
15 impose not only significant costs in terms of
16 obtaining those permits, but also in terms of the
17 time it takes to realize those permits. All of
18 which would affect the overall cost of a project,
19 and ultimately the levelized cost of generation.

20 Measures that would need to be taken in
21 terms of environmental mitigation, protection of
22 wildlife, protection of flora and fauna in a hydro
23 project is also a key cost driver. It's, you
24 know, I think relatively assumed today that any
25 type of hydroelectric project will have to take

1 into account protection of wildlife and the
2 minimization of the impact of the hydroproject on
3 the environment and of the native species in the
4 river and the surrounding region.

5 Fixed and variable O&M is also a cost
6 driver when it comes to small scale hydro. Not
7 just in terms of maintenance of the turbines and
8 the turbine penstocks and the canals which require
9 periodic and upkeep just like any other rotating
10 generating equipment.

11 And then finally you have an annual
12 charge that's levied by the Federal Energy
13 Regulatory Commission in terms of hydro resources.

14 PRESIDING MEMBER BYRON: Excuse me, Mr.
15 O'Donnell, I wasn't aware of that. How
16 substantial is that Federal Energy Regulatory
17 Commission charge?

18 MR. O'DONNELL: Eight percent, Pete?
19 Roughly?

20 MR. BAUMSTARK: It's about \$2.40 an
21 installed megawatt is what it works out to be,
22 something -- that's not right -- installed
23 kilowatt.

24 MR. O'DONNELL: Right.

25 PRESIDING MEMBER BYRON: Okay, would you

1 mind repeating that so we can hear it on the
2 microphone?

3 MR. BAUMSTARK: I have to look it up --

4 (Pause.)

5 MR. BAUMSTARK: Yeah, I'm Pete Baumstark
6 from KEMA. It works out to be, and I'll verify
7 this real quick, it's in my laptop, but it's
8 about, I think it's like \$2, you know, \$2, \$3 per
9 installed kilowatt, or, you know, is about the
10 range. But I'll look it up, and if it's any
11 different at all, I'll let you know, so.

12 PRESIDING MEMBER BYRON: Thank you.

13 MR. O'DONNELL: One of the interesting
14 things about hydro in terms of its development as
15 a renewable resource in California and looking at
16 the cost of generation, is that hydropower in
17 terms of its overall cost, I think, can be quite
18 competitive in terms of the overall dollars per
19 megawatt in installation costs.

20 And because of the resource being
21 natural water, flowing water, the overall
22 installed costs of operation tend to be fairly
23 low, as well.

24 So I think that's one of the reasons in
25 the past why we've seen the development of the

1 Pacific Northwest hydro resources. But it also
2 bodes well, I think, for the future in terms of
3 looking at renewable energy as a broad mix of
4 technologies, hydro certainly seems to have a
5 place in the mix.

6 The other issue that we looked at in
7 terms of commercially viable technologies for
8 hydroelectric power is the opportunity to capacity
9 upgrade existing sites with power.

10 And one of the issues that drives the
11 technology choice around capacity upgrades with
12 hydro is the fact that many hydroelectric
13 resources were developed years ago and sometimes
14 decades ago.

15 And, you know, when you have these large
16 vertical penstock turbines people tend not to want
17 to replace or upgrade them very often. They're
18 big, they're heavy, they're quite substantial.

19 And so the ability to upgrade with newer
20 technology, more efficient technology can be a
21 benefit in terms of taking a resource that's
22 already developed and getting additional
23 incremental power out of it through improved
24 technology.

25 I think one of the key things in terms

1 of capacity upgrade with hydro is the ability to
2 get the upgrades. And we looked at upgrades from
3 as small as 2 megawatts in terms of upgrade, to 80
4 megawatts, and even up to 600 megawatts.

5 So there is again a wide range of
6 variation, I think, attributed to the wide range
7 of variety, types of hydro projects that currently
8 exist in the technology base today.

9 I think the most important thing in
10 terms of capacity upgrades and cost drivers is the
11 look at the existing power projects where capacity
12 upgrades are possible, and looking at the cost to
13 upgrade.

14 So you have a wide range of variation.
15 If you look at the asymptotic graph on the upper
16 right of the slide, going from \$1500 per kilowatt
17 all the way down to close to \$500 a kilowatt as
18 your scale goes up. And so there tends to be a
19 very much an economy of scale in terms of the cost
20 of improvement versus the size.

21 And then looking at capacity upgrades,
22 similar to biomass cofiring, where you're
23 augmenting an existing resource, the capacity
24 upgrade, I think, from an overall cost profile
25 perspective, looks promising in terms of our

1 initial draft study that the research team has
2 performed.

3 Because in terms of dollars per
4 kilowatt, \$770 per kilowatt, you're basically, at
5 that point, under a combined cycle gas turbine
6 project. And so I think with the capacity factor
7 that a capacity upgrade to hydro produces, you
8 have an incrementally low cost way of augmenting
9 environmentally clean, reliable power.

10 PRESIDING MEMBER BYRON: Mr. O'Donnell,
11 is that primarily just a technology upgrade? Just
12 an efficiency improvement? You're not talking
13 about adding additional flow capacity, correct?

14 MR. O'DONNELL: You could also add
15 additional flow capacity, or increase the capacity
16 of existing canals that are there. And I think,
17 as we looked at it, we looked at the opportunity
18 to do both. Whether it be through technology or
19 through increased flow through the system.

20 PRESIDING MEMBER BYRON: Now, I'm going
21 to suggest that we're about half way to lunch and
22 you're about half way through the presentation.

23 Let's take a ten-minute break.

24 MR. O'DONNELL: Okay.

25 PRESIDING MEMBER BYRON: Okay?

1 MR. O'DONNELL: Thank you very much.

2 PRESIDING MEMBER BYRON: We'll reconvene
3 at 10:50. Thank you.

4 (Brief recess.)

5 PRESIDING MEMBER BYRON: As I recall, we
6 were going to pick up on the solar on about slide
7 43.

8 MR. SULLIVAN: Correct. We actually
9 studied two solar technologies. One is the solar
10 parabolic trough. And you'll see by the data that
11 we collect, that is an exciting development. And
12 we've certainly seen a number of projects in that
13 direction.

14 Of course, the technology, I think
15 everyone's familiar with, but just to briefly
16 recap. We chose a modular size of 50 megawatts,
17 which is kind of a turbine component size.

18 But essentially you're capturing the
19 thermal heat and culminating it into a pipe. And
20 putting it through a heat exchanger. And, of
21 course, the nice thing about solar parabolic
22 trough is it ends up turning a steam turbine,
23 which turns the generator. And we like that,
24 spinning equipment. Because we know that
25 technology well, so it's a very -- the way to look

1 at this is really just a solar boiler, where the
2 fuel is actually the thermal heat.

3 So there are various means of collecting
4 that heat. We've seen a lot of improvements in
5 the collection technology, the mechanical
6 equipment associated with the tracking of a single
7 access parabolic trough system.

8 So, a number of projects, in fact a lot
9 of the cost data, we believe, is transportable
10 from the models and the projects that we've seen
11 in Spain. They've got a number of these projects
12 running.

13 Of course, Nevada has also Nevada Energy
14 and Solar Millennium Project. And the Arizona
15 project is one that's fairly current.

16 But as this technology gets more and
17 more deployed, we also want to just point out a
18 similar thing to cofiring of biomass is happening
19 here. Some customers and utilities are looking at
20 can you augment my existing steam cycle with a
21 solar parabolic trough system.

22 So that is a really exciting
23 development, because you saw the numbers that you
24 have when you do cofiring. If you can use the
25 existing infrastructure of a steam turbine

1 generator plant, transmission and generation, and
2 replace the coal energy with solar thermal, and a
3 steam circuit, that becomes an exciting aspect.

4 And as the temperature of the steam is
5 getting beyond the 700 degree mark, that even
6 becomes more exciting to augment it into the LP
7 and the IP side of an existing steam turbine.

8 So having said that, the cost drivers,
9 without that aspect, of course, is the steam
10 system, itself. The parabolic apparatus where
11 we've seen some improvements in the cost, and
12 you'll see the developments there. I think the
13 learning effect of that technology of the
14 parabolic apparatus has been an exciting
15 improvement.

16 And, of course, significant land
17 acquisition is one of the other drivers. And
18 people need not to forget that there's a fixed and
19 a variable O&M to the parabolic trough system.

20 And here you can see, as opposed to some
21 of the other data that is in front of you, we've
22 actually got tangible evidence to say that we've
23 seen a trend down in the actual costs for these
24 systems.

25 A lot of that comes from the aspects I

1 mentioned with the mechanical mechanisms. And
2 also the fact that when we see a trend down like
3 this, it's based on actual cost data that we've
4 seen in the market.

5 Solar PV is very interesting, as well,
6 from a -- this is one of the early renewable
7 technologies that doesn't result in a spinning
8 generator. And that and storage, I think, are the
9 only things that generate electricity without
10 turning a turbine.

11 But, of course, everyone's familiar with
12 the flat-plate photovoltaic systems, either in a
13 silicon substrate or in the (inaudible)
14 technology. And there's some exciting
15 developments, of course, in that area; none of
16 which are commercial yet. Particularly in the
17 collector systems in making the solar cells far
18 more effective in taking angle radiation and
19 converting it.

20 Those developments have not yet seen a
21 commercial availability yet, but the low
22 efficiency cells are certainly deployable.

23 Again, we looked at projects around the
24 world. In Spain there's a number of the PV
25 installations. We, of course, have installations

1 in the U.S., as well.

2 And based on the data that we've
3 collected, we also determined a kind of a size,
4 anything over 20 megawatts, as a kind of a unit
5 size, mainly driven by some of the electrical
6 conversion apparatus required to do the dc-to-ac
7 conversion.

8 But obviously size is only limited by
9 the real estate. So the real cost drivers that we
10 saw, of course, is the PV module costs, which are
11 all over the map. We're seeing that's something
12 that will change going forward. Significant
13 changes in the production capacity is also driving
14 the costs.

15 And then new manufacturing capacity,
16 when available, will significantly change costs.
17 And, of course, land acquisition. And there is a
18 fixed O&M cost, as well, with PV.

19 So, again, this is based on data that
20 we've seen. We've seen a significant trend down.
21 And I think this is one of the things we mentioned
22 right at the beginning that it's a moving target
23 as technology, manufacturing capacity and the
24 political environment changes. We'll see more and
25 more changes in these cost projections.

1 With that, and the fact that I have not
2 a good voice, I'm going to pass you to Chip.

3 MR. O'DONNELL: The next technology that
4 we'll evaluate and present is wind. Basically in
5 terms of California leading the nation in wind
6 technology deployment over time, the technology is
7 fairly well established. It's basically the same
8 as the windmills in Holland of yesteryear.

9 The kinetic energy that's contained
10 within the air stream, the wind air stream, turns
11 a wind turbine. And I think some of the more
12 important technology developments is the use of
13 aircraft and gas turbine aerodynamic technology
14 into the design of the turbines, themselves.

15 Not just in terms of the ability of
16 increasing blade pitch or the length of each
17 blade, but also in terms of the aerodynamic
18 profile of those blades to improve efficiency and
19 also to improve specific power output.

20 So, over the last ten years or so we've
21 seen a substantial improvement and substantial
22 technology upgrades that we've already experienced
23 in the learning curve in terms of wind turbine
24 technology.

25 Then that spinning turbine also drives a

1 gear box which ends up driving a generator,
2 producing dc power that is then ported to an
3 inverter to produce ac power.

4 There are some wind turbines now that
5 are not using gear boxes for power generation.
6 But the vast majority of commercially available
7 wind turbine technologies today do use gear boxes
8 for power conversion.

9 As we looked at onshore wind the primary
10 areas that we looked at were class 3, category 3,
11 category 4 wind speeds. We looked at overall a 50
12 megawatt wind development. And typically those
13 are comprised of windfarms that consist from 1.5
14 to 2.5 megawatt turbines. Typically around 80
15 meter towers.

16 In the future, as we've talked about
17 before, the integration of aerodynamic technology
18 from the aircraft engine and the aviation industry
19 will continue in evolution towards larger rotors
20 and turbine sizes and also tower heights.

21 The thing that we look at in terms of
22 our configurations are that there are
23 opportunities not only for repowering existing
24 sites with new technology, as we've already seen
25 in California and has been going on for some time,

1 but also the development of the continued onshore
2 wind sites.

3 PRESIDING MEMBER BYRON: Mr. O'Donnell,

4 MR. O'DONNELL: Yes, sir.

5 PRESIDING MEMBER BYRON: -- how big can
6 they get? I mean, you can only -- structurally
7 you can only make them so big, and my
8 understanding is that we're approaching, you know,
9 the tip speed on the blades is approaching
10 supersonic now. So what is the limiting factor?
11 How big can we get?

12 MR. O'DONNELL: There are a couple of
13 limiting factors that I have seen and our research
14 team has seen in terms of the available data.

15 The first thing is you're absolutely
16 correct. Tip speeds go from subsonic to transonic
17 into the area of mach 1. There are considerable
18 issues around blade design.

19 And I think that is the reason that
20 companies like General Electric, for example, have
21 actually ported engineers over from the gas
22 turbine side of their business, over to the wind
23 side, especially in terms of blade aerodynamic
24 modeling.

25 Because the aircraft engine industry has

1 dealt with transonic blade speeds for about 15 to
2 20 years now, in military engines. And they've
3 taken that technology base and they have moved it
4 over to the design of wind blades for turbines.

5 I think, as well, a larger aspect around
6 this, and I think why our research team sees the
7 curve leveling off, as you also opined, is the
8 reason around mechanical stresses on the nacel
9 structures, themselves, and the gear boxes.

10 One of the things that our research team
11 has seen in our research on wind is that the
12 operational performance of wind turbines can be
13 highly variable.

14 And one of the issues around ongoing
15 reliability issues with turbines are in the area
16 of gear box connection. You have varying stresses
17 that hit the gearbox, and that could impact the
18 overall capacity factor and reliability of the
19 wind turbine units.

20 And so I think that is probably one of
21 the lesser known aspects of the wind industry
22 today, is the ongoing long-term reliability of
23 wind turbines.

24 And I think the data that we have seen
25 so far in our research is showing that, I think

1 you're absolutely correct, that today we're seeing
2 a leveling off. Where we would expect to see a
3 continuing economy of scale from just an opinion
4 standpoint, what we're actually seeing is that
5 those technology curves tend to be leveling off
6 right now.

7 PRESIDING MEMBER BYRON: So what is it,
8 3.5 megawatts, 4 megawatts?

9 MR. O'DONNELL: I think the upper
10 escheleon is probably in the 4 megawatt range. I
11 don't think right now we're going to push into
12 anything above that. And I think it would take
13 not only a continued evolution in aerodynamic
14 technology, but also an evolution of materials
15 technology.

16 PRESIDING MEMBER BYRON: Okay. Well, we
17 shouldn't underestimate the technology. Everybody
18 that's made those kinds of -- guesses before have
19 been wrong on other technologies, so we're
20 probably wrong here, too.

21 MR. O'DONNELL: That's correct. Looking
22 at the overall cost drivers. The first cost
23 driver for wind energy onshore is the turbine
24 cost, itself.

25 The secondary cost driver is making sure

1 that the turbines are reliable in service. And,
2 again, that speaks to some of the operational
3 issues that the industry has seen over the last
4 several years, as turbines get bigger, as projects
5 get bigger.

6 Not to mention the fact that maintaining
7 a wind turbine is not an easy challenge. They
8 tend to be high-risk. The turbine maintenance
9 technicians are typically up in the air, in the
10 nacel. And so maintenance of a gear box at 80
11 meters high tends to be more expensive than
12 something on the ground.

13 The continuing aspects of permitting and
14 site selection for wind and the access to
15 transmission are other cost drivers that are
16 currently seen by our research team in terms of
17 overall wind development, as well as the costs of
18 land acquisition.

19 The slide projection that you see here
20 in terms of the cost trajectory is something that,
21 as we started our research, has promoted a large
22 degree of discussion within our research team.
23 And I'd like to point out that in terms of our
24 findings we don't believe that these projections
25 are necessarily final.

1 What we do want to do in the workshop
2 today is explain some of the methodology and the
3 data that has produced this curve. But we
4 reiterate that in terms of a cost curve that
5 escalates over time quite substantially.

6 The reason for that is that our existing
7 data searches in terms of cost showed a phenomenon
8 over the last three to four years that I think is
9 fairly familiar to people in the energy industry.
10 And that is that the wind turbine industry reached
11 its capacity actually several years ago.

12 Vestas, for example, in 2007, was sold
13 out for a period of two years. They had greater
14 than a two-year backlog in their manufacturing
15 capability for wind turbines.

16 And so one of the things that happened
17 as we looked at the historical data in terms of
18 cost trajectories was that we started to see year-
19 on-year escalations of 6 percent and sometimes
20 greater.

21 We see all of that due to several
22 things. One was the increasing cost of raw
23 materials for manufacture of wind turbines. The
24 second area was in terms of manufacturing capacity
25 constraints that still actually continue to this

1 day.

2 One of the things that our research team
3 is doing, as we look at this, is that, you know,
4 the projections based on the data are striking.
5 However, we believe that there are market
6 mechanisms that are underway, and will continue to
7 be underway, that will mitigate and/or change
8 that. And that is currently the focus of our
9 research in wind.

10 So we wanted to present this to you
11 based on what the current data is telling us, but
12 also what our experience is telling us. And our
13 experience is telling us that this is not
14 something that we believe is sustainable, or else
15 frankly there won't be a wind industry in about
16 ten years. I think that's plain to see from the
17 curve.

18 The larger issue is being able to
19 validate the supply and demand, specifically in
20 the United States, in terms of turbine capacity
21 versus growth in the industry. And that is where
22 our research is currently focused as we prepare
23 the interim report.

24 As we look at offshore wind potential I
25 think there have been some exciting developments

1 primarily in Europe, and certainly in the United
2 States. The Cape Wind Project off of
3 Massachusetts is something that's current. The
4 state of New Jersey has also opened up offshore
5 wind for exploration, at least.

6 And I think in terms of our view, for
7 category wind speeds, category 5 and greater,
8 offshore wind also holds promise in terms of
9 California's energy future. And that's one of the
10 reasons why we looked at the offshore wind
11 technology.

12 I think one of the keys in terms of
13 offshore wind is that the ability to generate more
14 electricity at higher capacity factors is
15 certainly a driver around the development of
16 offshore wind.

17 More consistent winds, and more
18 consistent winds over time, also bode well for
19 offshore wind as a technology.

20 The other issue is that looking at
21 issues around height, offshore wind allows you to
22 develop larger blade pitches and extract more of
23 the energy out of the wind resource offshore than
24 sometimes can happen because of offshore. And
25 part of that is there's no structural interference

1 from the environment. You've got open water.

2 One of the things that the research team
3 has direct experience in, I spent some time over
4 in Ireland with Eddie O'Connor, who at the time
5 was the chief executive officer of Airtricity,
6 LLC. And Airtricity and GE developed the Arklow
7 Bank Project off of the East Irish Sea.

8 And one of the issues, I think, in
9 developing that project was the difficulty in
10 being able to put together foundations and support
11 structures for the offshore turbines.

12 And I think one of the issues that comes
13 into play as we look at technology implementation
14 of offshore, the Irish Sea off of the Dublin coast
15 where the Arklow Project is based, is actually
16 fairly shallow water, 30 to 50 meters deep. And
17 even there it was quite a challenge for both
18 Airtricity engineers and GE engineers to put
19 together the type of support structures and
20 foundations required.

21 I think the problem compounds itself in
22 a geometric fashion as you go to deeper water.
23 Not dissimilar to the way the oil and gas industry
24 has had to move from shallow water wells in the
25 Gulf of Mexico to deep water wells, the technology

1 cost tends to escalate geometrically.

2 I think that's one of the things we see
3 as a key cost driver in terms of offshore wind
4 technology development. It's not necessarily the
5 wind turbines, it's the siting and the foundations
6 that will sustain that project for a long period
7 of time that tend to be highly variable in terms
8 of the cost. It's do-able. These things are, as
9 we've seen in the oil and gas industry, it can be
10 done. The larger issue is looking at the stresses
11 that are applied to a 100-plus meter tower with
12 high wind speeds that you're looking at.

13 And quite a bit of stress ends up
14 getting developed at the seabed floor where the
15 foundations are.

16 And so that tends to be, I think, one of
17 the key variations, the key variables, the key
18 cost drivers as we look at offshore wind. I don't
19 think it's a technology base in terms of the wind
20 turbines, themselves. It's the actual getting the
21 turbines in place and stable and with good
22 support.

23 So, as we've looked at offshore wind,
24 we've talked about foundations, the turbine costs.
25 Reliability and maintenance will be heavily

1 influenced by the distance offshore and the depth
2 of the water that the turbines are placed in.

3 Permitting and site selection would
4 continue to be not only a driver in terms of cost,
5 but I think also in terms of long-term energy
6 policy in the state, in terms of how offshore wind
7 is looked at and potentially realized.

8 And then ultimately lease and
9 transmission costs are cost drivers there.

10 One of the interesting things that we've
11 seen, and I think Gerry Braun talked about it
12 quite well in his presentation, is the difference
13 between assumed capacity factor and actual
14 capacity factor.

15 And I think as the state and the
16 California Energy Commission looks at implementing
17 offshore wind, as well as other technologies,
18 offshore wind certainly is an area where we find a
19 discrepancy between assumed capacity factor and
20 actual capacity factor that I think will be
21 critical in terms of the technology adoption for
22 renewables.

23 One of the things you'll notice, you may
24 not be able to see very well here, but the net
25 capacity factor that we've assumed for offshore

1 wind is 22 percent, 22 percent.

2 That's a substantial difference, as
3 we'll point out later, from the 2007 IEPR study.
4 And it's based on looking at actual plants in
5 service in California, and data that we were able
6 to find with our research team, that show that the
7 actual realized capacity factor for wind in
8 California is around 22 percent, versus 28 percent
9 or higher, as we've seen elsewhere.

10 And so I think from a realization
11 standpoint when you think about, you know,
12 developers coming in to develop new projects for
13 utilities, one of the key things obviously is what
14 will the investment return.

15 And I think the variation that happens
16 in capacity factor for both onshore and offshore
17 wind is something that we will need to look
18 closely at, not just as a research team, but also
19 as a combined task as the cost of generation study
20 moves forward.

21 And, again, one of the things you see
22 here is the cost trajectory going up and, as we've
23 explained before, there are market fundamentals
24 that we think are shorter term that are
25 influencing this based on the data that we have.

1 And we're looking at the longer term supply/demand
2 balances for the draft report and the final
3 report, as well.

4 PRESIDING MEMBER BYRON: Again, you show
5 this curve starting around 2018. The Cape Wind
6 Project, I believe, has been under development
7 already for six years. They would probably
8 dispute that this is out into 2018. Also, these
9 are the highest costs that we've seen on any of
10 the other generation technologies thus far in your
11 presentation.

12 MR. O'DONNELL: That's correct. That's
13 correct. I think part of that is, I think you're
14 absolutely correct in terms of the time realized.
15 Can a project be realized in six years.

16 I think some of the specific aspects
17 with Cape Wind go to the amount of political
18 resistance that that project has received over a
19 period of time.

20 And my own development background tells
21 me that some of that is not only based on policy
22 and interest groups, things like that, stakeholder
23 intervention, but also I think also the way that
24 development process took place.

25 The initial announcement of Cape Wind in

1 Massachusetts was a very heavy-handed "we're going
2 to do this". And I would suggest that that time
3 was lengthened perhaps because a more
4 collaborative approach was not necessarily taken
5 at the beginning.

6 And so when that happens interest groups
7 can galvanize and positions can be taken and
8 compromise can be hard to achieve.

9 I think, you know, based on other
10 industry experiences that six years could be do-
11 able, depending on the right regulatory policy
12 climate, as well as good interactions between
13 utilities, private developers and the other
14 constituents involved.

15 No doubt that that's a complicated,
16 offshore wind development is a complicated issue.
17 I would simply look at the Arklow Project off of
18 the Irish coast as an example of how quickly it
19 can be done, in contrast. And perhaps six years
20 is not necessarily a bad middle ground. But I
21 would agree that there's a lot of fungibility in
22 how quickly it can be accomplished.

23 Looking at wave and ocean energy
24 extraction, I think this is something that has
25 been a topic in terms of renewable energy for

1 quite some time. I remember beginning my career
2 over 20 years ago, and one of the first projects I
3 had to look at was a fixed-point bobbing
4 installation for wind energy in the Ohio River in
5 Cincinnati.

6 And so I look at ocean wave technology
7 as something that continues to evolve and has
8 difficulty, I think, coming into commercial
9 operation. But nonetheless, has technical and
10 commercial promise.

11 Basically wave energy is taking the
12 kinetic energy of the ocean through wave action,
13 and taking that and converting it into useful
14 electric power. And there a couple of ways to do
15 that.

16 One is through a point absorber, which
17 is like a buoy that moves up and down and the
18 kinetic energy of the ocean tends to power a
19 generator.

20 The second is an oscillating water
21 column where you basically have the, basically a
22 chamber that's in a column of water, and the water
23 column moves up and down based on the oscillation
24 of the wave. What that does is it acts as a
25 piston and drives basically a turbine generator.

1 I think some of the other opportunities
2 for ocean wave is the overtopping where basically
3 you have a support structure, the waves come over
4 top, and basically fill a reservoir. A low-head
5 turbine is installed in the reservoir, so as water
6 drains out of the penstock, it basically flows
7 through the turbine, producing power. And then
8 you've got attenuation, as well.

9 So here are photographs of those. I
10 think one of the key things in terms of looking at
11 the cost of wave energy extraction is they are
12 multiple technologies, and highly variable, highly
13 variable in terms of cost and in terms of
14 application.

15 We're looking at here overnight costs
16 from \$2500 to almost \$7000 in the CEC study of
17 2007. And you're looking at a wide range of
18 variation in terms of equipment and facilities
19 costs.

20 One of the things that we see in terms
21 of wave technology is the turbine cost and site
22 development costs are primarily the largest issues
23 in terms of overall cost for implementation.

24 And, as such, there are not very many --
25 any commercialized examples of this type of ocean

1 wave technology that are there. We're
2 anticipating, by 2018 there will be more of a
3 drive toward commercialization. There is some
4 funding in the industry that's driving that
5 forward.

6 Once that happens then how reliable will
7 those technologies be. That, we see, is another
8 cost driver. And then the same issues as with
9 offshore permitting and site selection and
10 transmission are going to be issues in terms of
11 ocean wave.

12 The larger issue that we also see is the
13 large variation in energy that could be produced
14 from ocean wave technologies. As low as 4
15 megawatts to roughly 90 megawatts in terms of
16 scale.

17 I suspect, in terms of overall
18 technology, that we would expect to see rapid
19 change in these numbers as time goes forward, as
20 we look at the next biennial and the next biennial
21 because there is an awful lot of commercial
22 research going on to commercialize these
23 technologies. So, we would expect to see changes
24 in the profile over time.

25 Looking at the overall costs, again

1 there is an escalation upward in terms of time, I
2 think primarily due to the site development and
3 technology costs. That we don't necessarily
4 anticipate seeing a learning curve in terms of the
5 number of projects.

6 And part of that is, as we've looked,
7 there are four different types of ocean wave
8 technologies that are being commercialized right
9 now. And when you look at the overall scope of
10 developing projects, not necessarily looking for
11 everyone to be jumping in similar to the wind
12 industry, but more of a piecemeal approach. And
13 that doesn't bode well from a scale economy
14 standpoint.

15 The next option, and one of the options
16 that I think is gaining a significant amount of
17 commercial momentum, is coal-fired, integrated
18 gasification combined-cycle technologies.

19 And the first implementation of coal-
20 based IGCC was done through Synergy and PSI Energy
21 back in 1995 under a Department of Energy advanced
22 technology demonstrative project. And that's the
23 Wabash River Cogasification Plant, where coal is
24 gasified using a Texaco-based process gasifier;
25 and then installed into a GE turbine as a first

1 proof of demonstration, proof of concept back in
2 1995.

3 The nice part about that project is that
4 project is still operating today. And so the
5 technology demonstrator that first happened in
6 1995 continues to be robust more than 15 years
7 later. And the technology, itself, is gaining
8 significant momentum.

9 As gasification processes improve, and
10 as the ability for gas turbine manufacturers to
11 take synthetic gas, gasified from coal, and
12 reliably process it into a gas turbine combined
13 cycle.

14 Basically the scale of the technology is
15 roughly 300 megawatts. And what that represents
16 is a single train, typically a GE Frame F type of
17 turbine. And we are assuming, based on our
18 research, that that would be a single train,
19 single turbine unit, based on what we see in terms
20 of the current technology that's being deployed
21 right now. Versus other combined cycle plants
22 where you might see a two-on-one configuration,
23 two gas turbines, one steam turbine.

24 What we're seeing more and more of, and
25 what we're seeing actually in commercialized

1 plants today, is a one-on-one scenario where you
2 have one gas turbine and one steam turbine in the
3 combined cycle unit. Which roughly gets to a
4 plant sized around 300 megawatts.

5 One of the things that happens in the
6 gasification is the coal is partially oxidized and
7 produces synthetic gas. And the combustible
8 components of that are CO and hydrogen.

9 You also have some greenhouse gases in
10 terms of CO₂, but the CO₂ production potential for
11 integrated gasification combined cycle is much
12 less than that from burning coal separately.

13 And part of that is the reactor where
14 you get the syngas will be of a much higher
15 efficiency than by burning coal, for example, in a
16 pulverized coal unit where you have differences in
17 more incomplete combustion overall.

18 One of the things that happens and is a
19 key aspect of the technology is the hot gas
20 cleanup of the synthetic gas, because modern day
21 gas turbines are highly sensitive in terms of
22 contaminants introduced into the combustion
23 stream. And so hot gas cleanup is a key element
24 of the gasification technology.

25 What you see here is a manifestation of

1 one of the more current technology applications of
2 coal-based integrated gas combined cycle, and that
3 is Tampa Electric's integrated gas combined cycle
4 plant.

5 There is also another plant that will be
6 the second plant that Synergy, now Duke Energy, is
7 doing at Edwardsport, Indiana, which is a complete
8 repowering of an existing coal-fired central
9 station power plant.

10 And so what they're doing is they're
11 retrofitting the old pulverized coal plant with an
12 integrated gasification combined cycle unit, and
13 using part of the existing bottoming steam cycle
14 from the original coal plant as a part of the
15 combined cycle apparatus.

16 And so what you're seeing today in
17 commercial embodiment of IGCC technology is you're
18 seeing not just greenfield sites that are under
19 development, such as the Tampa Electric Station,
20 but also repowering and retrofitting of old coal-
21 fired units and reusing some of the turbine
22 technology that already exists there to lower
23 capital and operating costs.

24 One of the nice things about integrated
25 gasification combined cycle is the ability of the

1 gasifier to burn and combust fuels of varying
2 quality and varying types. Not just biomass, as
3 Kevin remarked about before, but also fuels as
4 varied as petroleum coke and coal, as well. And
5 coal, at varying types and qualities. From
6 eastern coal through Power River Basin western
7 coal.

8 The basic issue in the past around IGCC
9 adoption has been high capital costs. You not
10 only have the overall cost of combined cycle gas-
11 fired power plant, but then you have basically a
12 process reactor on top of that, which is the
13 gasifier. And then all of the fuel handling that
14 has to take place for coal fuel handling.

15 So all of those put together has been a
16 factor in terms of the decision over the past ten
17 years to adopt incrementally the IGCC technology.

18 But I think some of the market trends
19 that are driving IGCC today are, one, the reactor
20 costs have been lowered as manufacturing economies
21 have been achieved, and as process knowledge has
22 improved.

23 The reliability of gasifiers has
24 improved. This particular Tampa Electric IGCC has
25 had a continuous run of the gasifier for about

1 2700 hours, which set a new record. In the past
2 you would expect to see a much higher amount of
3 gasifier trips that require restarts of the unit,
4 or cofiring on natural gas.

5 Today what we're seeing is we're seeing
6 the reactors much more reliable, and much more
7 dependable in terms of cost trajectory.

8 Cost drivers, as we mentioned, are, you
9 know, strongly suggestive around the fuel
10 gasification process, as one of the key cost
11 drivers. It drives costs not only from a first-
12 cost perspective in terms of the addition of that
13 versus a combined cycle gas-fired unit, but also
14 in terms of the ongoing operational reliability of
15 the plant, itself.

16 And so looking at the overall look at
17 integrated gasification combined cycle, the
18 continuing reduction of costs for the gasifier and
19 the reactor will be a key to the continued
20 adoption and large-scale adoption of the
21 technology.

22 That, along with carbon regulation will
23 also be a significant noncost driver around the
24 technology. IGCC lends itself to significant
25 abilities to capture carbon versus other

1 technologies.

2 One of the things that you see in terms
3 of the cost trajectories from high to low is
4 average cost of 22.50 per kilowatt is
5 significantly higher than that of a normal gas-
6 fired combined cycle plant. But also relatively
7 cost neutral and even cost advantageous when it
8 comes to other renewable energy technologies.

9 And I think especially as carbon
10 constraints come into our world over time, these
11 economics will be tilted even more in favor of
12 coal-based IGCC technology.

13 One of the other things that you see is
14 you see the spread of costs. And why the spread?
15 I think the first aspect is on the high side
16 issues around siting and issues around gas cleanup
17 and environmental regulations that are required,
18 you know, for the successful permitting, depending
19 on site location, and depending on fuel type.

20 The low side of the equation goes to
21 options and abilities to repower existing coal-
22 fired units, or existing central station units
23 with IGCC technology.

24 So the variation in terms of low to high
25 cost that we see is based on the technology-

1 specific applications that are present within the
2 IGCC world, from retrofit of existing
3 technologies, to a normal greenfield installation,
4 to a greenfield installation with much higher air
5 cleanup or siting restrictions.

6 And then to finalize our technology
7 review Kevin will present on nuclear.

8 MR. SULLIVAN: I must admit the sequence
9 was not by design that we come to the cleanest
10 technology last.

11 Having said that, I'm not sure if we
12 have our expert online, but if we do have any
13 questions we do have an expert who put together
14 this analysis on the nuclear for us.

15 We basically looked at multiple
16 different technologies in the nuclear side. And
17 as you're aware, they are primarily boiling water
18 reactors and pressurized water reactors.

19 But the most predominant in the
20 selection based on criteria that we looked at was
21 picking up the AP-1000, which is really a active/
22 passive, approximately 1000 megawatt nuclear unit.
23 And that is actually a Westinghouse technology
24 based on PWR.

25 It is one of the most prolific, if you

1 like, technologies in the sense of licensing, in
2 the sense of the Chinese market, which is also
3 moving ahead with it. And the number of
4 applications that have been looked at here in the
5 United States, around about 12.

6 And I know, I think, in this audience we
7 have a lot of people who have cut their teeth on
8 nuclear. So I'm sure there is a lot of opinions
9 on different technology.

10 But being a home-grown technology to the
11 U.S., we selected this technology. And we've also
12 found that while the AP-1000 was initially
13 designed at a lower megawatt rate, we're seeing
14 around about 1100 megawatt electric capacity
15 coming out of this compact unit.

16 I should also just say that I think
17 putting nuclear into this analysis is very
18 valuable because it gives you a benchmark to look
19 at the other renewable technologies against.

20 So the design, the typical plant design
21 is a two-loop PWR, basically with a 60-year design
22 life. It is also a first-generation three-plus
23 design certification; and has actually been
24 through the NRC design and certification process.

25 There are currently four units being

1 built in China. And I think around about 12
2 applications here in the U.S.

3 I mentioned the capacity, and you know,
4 the improvements in the actual steam turbines that
5 resulted in capacity increases, so we could quite
6 substantially see a 1200 megawatt unit being
7 developed as the steam turbine technology
8 improves. On the primary side, I think that
9 technology is pretty reliable and stable.

10 The interesting aspect, when we looked
11 at the cost drivers, is we all know that fuel
12 costs is one of the most attractive aspects of
13 nuclear, but their licensing costs, although it
14 only shows a 1 percent of the total cost drivers
15 here, it is certainly a significant cost and an
16 inhibitor to the start of these projects.

17 The other big cost is the actual cycle
18 to construct. And the typical delays that you
19 have in such a construction. So plant
20 construction is actually a significant driver,
21 mainly because of the period to construct, and the
22 variations in actual plant versus actual costs.

23 Waste and decommissioning was also an
24 important factor that the study team had to take
25 into account, that there is a requirement to

1 include into the cost and the operating costs, a
2 decommissioning factor. So that is also a key
3 driver, you can see by the cost factors here.
4 Decommissioning can be up to 20 percent of the
5 overall cost driver over the period for a nuclear
6 plant.

7 Current costs range between a low side
8 of around about 2300 up to a high side of 4600.
9 This is quite in line with some of the previous
10 numbers. I think a lot of these numbers can be
11 validated quite easily because of the license
12 applications that have been made. And the
13 performance of companies that have actually tried
14 to initiate construction of plants.

15 The average protection, I think, is a
16 realistic one of around about 3000. And we see
17 that in some of the plants going forward.

18 The proof is going to be in completing a
19 plant, and then doing the analysis of what it
20 really costs.

21 Covered the nuclear side of it. I think
22 the other section, we thought to open up a
23 discussion we would just do some comparisons
24 between what happened in the 2007 IEPR versus what
25 we see in some of the updates here.

1 And, again, we've got a couple of typos
2 in here. We'll see if you guys can spot that.
3 But, we took the geothermal flash and we said,
4 let's have a look at the -- we noticed that the
5 same size was looked at in 2007.

6 We see, of course, an increase in the
7 pricing from the 2006 data to the 2009. And we
8 see a reduced capacity factor from geothermal
9 flash based on the capacity factor actuals that
10 come from plants that we've studied.

11 The next one --

12 PRESIDING MEMBER BYRON: Just before you
13 go on, the annual output degradation that you're
14 looking at there, is that due to depletion of the
15 steam field? Is that primarily --

16 MR. SULLIVAN: Yes, yes.

17 PRESIDING MEMBER BYRON: Okay, thank
18 you.

19 MR. SULLIVAN: Yeah, again, based on the
20 plants that we've studied, we saw that happening.

21 On the parabolic trough analysis we
22 chose a 50 megawatt unit versus the 63.5. But on
23 average that's comparable.

24 The interesting aspect there is the
25 annual output degradation has actually turned out

1 to be .5 versus the .2. Again, based on the
2 amount of plants that we've studied that have been
3 actually commissioned.

4 I don't think the overnight costs, you
5 know, reflect the learning effect that we've seen
6 happen in solar parabolic technology.

7 And then we took a third one, which was
8 basically the wind onshore analysis comparison.
9 And looked at the 50 megawatt unit. And you can
10 see that, you know, given the 2009 numbers versus
11 the 2006, in overnight costs there's been very
12 similar numbers.

13 In the O&M costs factoring in the
14 capacity factors you can see the huge difference
15 in our average capacity factor analysis for
16 onshore wind at 22 percent versus, I suppose, a
17 predictable plant capacity factor of 34 percent.
18 And that obviously makes a huge difference to the
19 cost of generation, levelized cost of generation.

20 PRESIDING MEMBER BYRON: What's taking
21 place there between the two reports on the O&M
22 costs, the fixed O&M costs in the 07 IEPR goes to
23 zero in the 09, and then there's virtually the
24 reverse effect for the variable.

25 MR. O'DONNELL: I think that could be

1 due to the treatment and the look between two
2 research teams.

3 The way we looked at operation and
4 maintenance for onshore wind is that the primary
5 area of maintenance for wind turbine, most of the
6 inverter and the power transformation equipment is
7 solid state and steady. There's very little
8 maintenance component that goes into that once
9 it's operational.

10 The larger aspects are the rotating
11 equipment pieces that are primarily contained
12 within the nacel, blades, blade pitch apparatus,
13 the gear box, the fluidic components, the
14 hydraulic components that are in the nacel,
15 itself, of the wind turbine.

16 And the way we analyzed that is that
17 that function, that maintenance function can be
18 highly correlated to the turning of the wind
19 turbine, which is proportional to the megawatt
20 hours produced.

21 And so in terms of looking at the
22 maintenance component, I think it may have been
23 simply a difference in treatment and analysis of
24 maintenance costing.

25 PRESIDING MEMBER BYRON: Well, now,

1 since you're acting like you're done, --

2 (Laughter.)

3 PRESIDING MEMBER BYRON: You've provided
4 three examples of comparison reports, what's your
5 general conclusion? Either you put these three up
6 because they represent some substantial difference
7 in those particular areas? Because they represent
8 relatively little difference?

9 I'd like to just understand how we
10 progress.

11 MR. O'DONNELL: We actually presented
12 those three because they provided probably stark
13 contrasts between the 2007 IEPR and the 2009 IEPR.

14 One of our tasks in task one was to look
15 at several documents that were done as a result in
16 support of the 2007 IEPR process. Including work
17 that was done by a company on prior generation
18 costs.

19 In general we found that they were done
20 quite well. The amount of research is thorough,
21 the look at the technologies was substantial, not
22 just from a technology perspective or commercial
23 embodiment perspective, but in looking at how to
24 implement those technologies.

25 The areas where we saw a difference

1 were, in some ways, a function of market changes
2 over the last two years. Primarily in the solar
3 technology arena. There's been substantial
4 difference, and substantial experience effects
5 that we've seen in the solar technology world.

6 I think in terms of other technologies,
7 it may have been just a difference in experience
8 base in terms of our, you know, certainly in our
9 research we were able to, for several renewable
10 technologies pull in the current state of the art
11 that's happening in Europe, for example.

12 And wind, certainly, is one of those
13 aspects where there are technology and project
14 advances that are going on in Europe that aren't
15 necessarily happening in North America at this
16 time. But are moving in that direction.

17 So, I think, in general, we highlighted
18 those three, Commissioner Byron, simply to
19 highlight some of the contrasting elements of our
20 study and to point out some of the reasons why, .

21 PRESIDING MEMBER BYRON: A couple other
22 thoughts came up, if I could just pursue these
23 briefly with you.

24 I'm forgetting one right now, but the
25 other one that comes to mind was although these

1 are generation technologies that we're evaluating,
2 was there any thought to whether or not we should
3 have also considered storage technologies in our
4 analysis?

5 MR. SULLIVAN: I really do like that
6 question. We really believe that that is a open
7 discussion and something that the team came up
8 very often. When you're dealing with capacity
9 factors, there is low and off-point generation
10 that happens with solar or wind.

11 We recognize that the viability of a lot
12 of this technology is reliant upon some kind of
13 storage technology. And as a result, I think
14 you've seen some developments in the area of
15 battery storage, which is very attractive. And
16 even a small percentage of megawatts, as a total
17 installed base for a windfarm to have a battery
18 storage capability of the level of 20 percent of
19 the total farm can change the capacity factor
20 significantly. And, of course, the cost of
21 generation of that windfarm.

22 So we really believe that's an important
23 aspect that still needs to be discussed and
24 analyzed.

25 PRESIDING MEMBER BYRON: Yeah, because

1 with generation, we never quite know where to put.
2 And so we look for analysis. I would be
3 interested in seeing that in future reports. So
4 I'm speaking to staff really here, I think.

5 And, in fact, maybe Mr. Alvarado wants
6 to speak to this, as well, why it wasn't included
7 here or if he's thinking about including it in the
8 future.

9 MR. ALVARADO: I understand that there
10 are other programs in the PIER group that is
11 actually evaluating storage opportunities. And I
12 believe there was a workshop just the other day on
13 that subject.

14 Although I do think that the capacity
15 that they're talking about storage now is fairly
16 small at current levels. Unless you're talking
17 about pump storage opportunities.

18 PRESIDING MEMBER BYRON: Oh, well,
19 that's going to change.

20 MR. ALVARADO: And --

21 PRESIDING MEMBER BYRON: All right,
22 well, let me ask one other question to make sure I
23 understand how to interpret this. All these
24 projections figures that you've shown here, that
25 were on the last page of each of the technologies,

1 generation technologies, I just want to make sure
2 how to interpret these.

3 Most show two figures -- I'm sorry, two
4 lines, the installed cost -- well, they're both
5 installed costs. I thought I saw installed and
6 construction. No? Instant costs and installed
7 costs. Sorry, it was so small I couldn't read it.

8 I just want to make sure I understand
9 how to interpret that. You're not giving a range
10 of values necessarily, those are two different --
11 those represent two different costs, correct?

12 MR. O'DONNELL: That is correct. That
13 is correct. The instant cost, the instant cost
14 would be the cost to instantaneously or overnight
15 realize that plant. If you could build that plant
16 in one day, what would that cost be.

17 So that would primarily be the present
18 day sum of all of the components of that plant to
19 be commercially realized.

20 The installed cost is the cost of
21 installing that plant given normal commercial
22 development conditions, whether it be utility, a
23 public utility, publicly owned utility, municipal
24 or merchant.

25 And that looks at a couple of things.

1 It looks at the development process and it also
2 looks at the time-based nature of construction.

3 PRESIDING MEMBER BYRON: So why didn't
4 you develop a range of costs? Why did you pick a
5 discrete value that everybody could argue whether
6 or not is correct?

7 MR. O'DONNELL: In some cases, in some
8 cases as we looked at this as a research team, the
9 commercial embodiment of the technology represents
10 one scale. And one scale in terms of the
11 commercial realization of the project takes a
12 finite duration of time that is either
13 commercially known or commercially available in
14 the data.

15 So you can look at the time duration
16 that it takes from initial project launch to
17 project realization saying, I know there were
18 several technologies, for example, that have a
19 construction embodiment within the first year. So
20 if you were to be a private developer or a utility
21 and you make a go-decision on that technology, you
22 could realistically expect to have that technology
23 implemented within that current year. And so the
24 installed cost basically will be the same as an
25 overnight cost.

1 Contrast that, for example, with a
2 nuclear project where you're looking at
3 construction costs that would likely to into a
4 four- or five-year construction cycle.

5 And so along the way, with that longer
6 term construction cycle, you have, for example,
7 construction interest or allowance for funds used
8 during construction on the utility side. That
9 would all have to be baked into and implemented
10 into the final installed cost, which makes that
11 cost larger.

12 And so that's the primary commercial
13 difference that we see. Kevin.

14 MR. SULLIVAN: To address your question,
15 actually we picked the average, and there is a
16 high end and there's a low end. And what we put
17 on the graphic was really the average.

18 And we still have more work to do on
19 that with the data and where we are at the moment
20 in the analysis. But we will have a range for you
21 that could really depict the slide that Al or
22 Gerry showed right at the beginning. That will
23 show you the range of that technology from low end
24 to high end.

25 PRESIDING MEMBER BYRON: Very good.

1 Thank you.

2 I very much appreciate this
3 presentation, and it took a long time to work
4 through it, but very good work and analysis.

5 Are we going to open up for public
6 comment now and questions?

7 MS. KOROSSEC: Yeah, I think it's time to
8 hear from the folks here in the room, so if you'd
9 like to speak just go ahead and come up to the
10 podium, identify yourself for the court reporter.

11 MR. BLATTACHARYA: My name is Shan
12 Blattacharya; I'm a retired executive from PG&E.
13 Not much to do so I just turn up here to listen to
14 you guys.

15 This was a very good presentation, by
16 the way. And a couple of questions that I have,
17 they may be directed to KEMA or to the staff, I'm
18 not sure which way it's going to go, but first
19 question is dispatchability.

20 As we encroach into the 15 percent
21 capacity margin, some of the nondispatchable units
22 are going to be stranded asset at the time of peak
23 loads. So there's a cost associated with that.
24 And that cost has to be addressed, in coming up
25 with the total cost of generation.

1 The second question I have is not a
2 question, it's really a suggestion, is on a hydro
3 facility I guess KEMA has mentioned that there are
4 opportunity for upgrading the hydro facility.

5 Having operated PG&E's hydro facility
6 for several years I do know there is opportunity
7 for 10 to 15 percent capacity upgrade, generation
8 upgrade, in many of these facilities, with more
9 power electronic systems installed, runner
10 upgrades and all that.

11 I was really pleased to hear that that's
12 a focus you guys are going to make in your IEPR.
13 But, on top of it, what I would like to see
14 addressed here is converting some of this hydro
15 facility into the dual purpose. Storage, pump
16 storage, and run-of-the-river generation.

17 Because a lot of these facilities have
18 the flexibility. We, in California, are really
19 blessed with certain hydro facility that can be
20 converted into pump storage facilities. And that
21 is going to help the dispatchability of a lot of
22 the wind generation that's going to come down the
23 pike.

24 So I just don't see how you cannot take
25 that into consideration when you're filling out

1 your new -- when you're completing your new IEPR.

2 Next item is I have a concern here on
3 the wind. Maybe it's already been addressed by
4 KEMA, and I think Commissioner Byron has raised
5 it, there are several major structural issues
6 industry has been coping with with respect to
7 increasing the capacity of this windmill.
8 (inaudible) happens to be one of those companies
9 that's struggling with.

10 My question is with those technical
11 uncertainty in place, are we addressing the cost
12 appropriately. That means are we looking at a
13 depreciation cost -- depreciation time
14 appropriately. Especially for IEPR, as you start
15 to change the depreciation the cost will be
16 affected big-time.

17 And O&M costs, I believe KEMA has
18 already addressed that. That needs to be
19 addressed.

20 The fifth item is on the geothermal
21 cost. Having lived through some of the geothermal
22 plant in my past life, I didn't see any mention of
23 waste disposal costs for the geothermal plant.
24 They are not insignificant when it comes to
25 decommissioning some of these plants.

1 So, you need to address that just like
2 how you addressed the decommissioning costs of a
3 nuclear plant, with some percentage. You need to
4 bring that up so that it stays in the list of the
5 cost drivers for geothermal.

6 Next I --

7 PRESIDING MEMBER BYRON: Mr.
8 Blattacharya, what's the waste? Is it from the
9 byproducts from the steam, or the actual plant,
10 itself?

11 MR. BLATTACHARYA: It's the byproduct of
12 steam.

13 PRESIDING MEMBER BYRON: Okay.

14 MR. BLATTACHARYA: That you cannot pump
15 back. It's a substantial, you know, some of these
16 sites are Superfund sites.

17 Next one is nuclear. Again, I think
18 again someone already addressed that. I did not
19 see the AFUEC cost addressed in the nuclear.
20 Which is substantial, which could be almost 70, 80
21 percent of the instant cost, depending on, you
22 know, which state you are in, and what kind of --

23 MS. KOROSK: Could you repeat the cost?

24 MR. BLATTACHARYA: AFUEC. This is, you
25 know, the cost of, what do they call that --

1 allowance for fund under construction -- under
2 construction.

3 (Parties speaking simultaneously.)

4 PRESIDING MEMBER BYRON: Particularly
5 when the construction takes eight to 12 years.

6 MR. BLATTACHARYA: It's really cost of
7 construction, financial cost of construction.

8 And the last, but not the least, this is
9 what I have for Commissioner Byron, I have made
10 this recommendation to your predecessor, as well.
11 This is not a very easy task, but I think we are
12 getting to a point we need to address this.

13 And that is the possible portfolio mix
14 to meet the renewable generation goal that we are
15 aiming at, that means to hit the 20 percent
16 renewable generation, what will be a portfolio
17 mix.

18 There'll be a suite of mixes, but we're
19 going to start looking at that suite of mixes and
20 the corresponding cost, you know, the weighted
21 average generation cost.

22 Are we looking at 30 cents a kilowatt
23 hour or 50 cents a kilowatt hour to meet the goal
24 that we are going towards? I think that's an
25 important factor that we need to start showing it

1 in our IEPR. With all these costs available now,
2 I think we should be able to do that.

3 This will be the first time we will see
4 that. And I think California is always in the
5 leading edge of this kind of, you know, major
6 ambition. And I think we've got to start showing
7 our citizens what that cost will be to hit our
8 renewable goals.

9 Thank you.

10 PRESIDING MEMBER BYRON: I have a couple
11 questions for you. Thank you --

12 (Laughter.)

13 PRESIDING MEMBER BYRON: -- for the
14 recommendations. The one, you know, realizing in
15 your prior role as VP of strategic planning at
16 PG&E, the conversion of hydro, or I should say the
17 upgrading of hydro in considering pump storage,
18 had you considered that while you were at PG&E?

19 MR. BLATTACHARYA: Yes. I know of three
20 sites. And that same thing applies for other
21 utilities and irrigation districts, as well. And
22 DWR got sites, too.

23 PRESIDING MEMBER BYRON: And so why
24 hasn't PG&E done it? Well, at least during your
25 tenure?

1 MR. BLATTACHARYA: It was not necessary.
2 Pump storage costs money. And that can be only --

3 PRESIDING MEMBER BYRON: Very good
4 answer.

5 MR. BLATTACHARYA: That could be --
6 (Laughter.)

7 MR. BLATTACHARYA: -- only supported
8 when the dispatchability becomes an issue.

9 PRESIDING MEMBER BYRON: Mr.
10 Blattacharya, it's very nice of you to come,
11 because I can remember years ago when you were at
12 PG&E and you would meet with this customer and
13 listen --

14 MR. BLATTACHARYA: Yes.

15 PRESIDING MEMBER BYRON: -- to my
16 concerns and all my problems that I was dealing
17 with and help me to provide solutions, and I very
18 much appreciate your coming here in your retired
19 capacity to give us the benefits of your expertise
20 and make these kinds of recommendations. We'll
21 take them very seriously.

22 MR. BLATTACHARYA: Thank you.

23 PRESIDING MEMBER BYRON: Thank you.

24 MR. ALVARADO: Commissioner, I could
25 probably at least address a few of the points that

1 were brought up regarding like stranded costs as
2 well as identifying a portfolio mix of different
3 renewable technologies that could be added to the
4 system.

5 We are engaged in a number of different
6 studies to, on one side, evaluate what set of
7 renewables could be built to meet a 33 percent
8 target. And we will be developing several
9 different resource plans to identify whether it's
10 going to be heavily wind, solar-based, or if
11 there's any other alternative mixes.

12 And once we have these different
13 scenarios for renewable portfolios, we will
14 attempt to build any additional resources,
15 generation resources, that might be required to
16 maintain reliability or a target planning reserve
17 margin.

18 I think once we have built these
19 resource plans and engage in some simulation
20 studies, we could at least identify, you know, how
21 some of these other conventional plants might be
22 performing, to note what their capacity factors.
23 You know, I think that's one part of the puzzle I
24 think you're really questioning.

25 And if we take a few steps further then

1 we can start examining associated costs. I'm not
2 saying that we're ready, at this point, but the
3 information we're gathering from this workshop is,
4 again, one of those building blocks that will lead
5 us down that path to identify those issues.

6 PRESIDING MEMBER BYRON: Yes. Thank
7 you, Mr. Alvarado. You remind me that this, and I
8 should have said this earlier, this is one of the
9 key aspects that we're considering in this year's
10 IEPR is the integration of large, high-percentage
11 renewables.

12 And so there's a number of elements that
13 will come together through the course of these
14 workshops and the analysis that the staff will be
15 doing. We hope to address a number of these
16 issues, the ones that Mr. Blattacharya mentioned,
17 as well as a number of others on how we're going
18 to get to 33 percent renewables and beyond.

19 MS. tenHOPE: Suzanne, could you help
20 us? Isn't that next workshop June 29 that will
21 have some assessment of the cost of 33 percent?

22 MS. KOROSK: I don't believe we'll have
23 a cost assessment; we'll have an assessment of the
24 other cost estimates that have been done, and
25 discuss some of the inputs and assumptions that

1 were used in coming up with those costs.

2 MR. O'DONNELL: From a KEMA perspective,
3 and Mr. Blattacharya has some very good comments,
4 and there are some things that we can address, as
5 well, for the benefit of all.

6 The first comment that was made was
7 around dispatchability and the 15 percent capacity
8 margin being undermined, and the ability of units
9 to be dispatched.

10 That actually happened in the mid 1990s
11 in PJM during a winter peak. And I think that's
12 an important comment to know the terms of the
13 overall cost of generation study, because in the
14 mid 1990s during a winter snowstorm what PJM found
15 was that a substantial number of peaking units
16 were on the books as being ready to fire, and
17 being unable to fire.

18 And that led to a whole new round of
19 reliability measures being taken in PJM to
20 demonstrate reliability. And I think that comment
21 is certainly germane, even today, when we look at
22 tightened capacity margins over time.

23 PRESIDING MEMBER BYRON: I just want to
24 make sure I understood. I thought what Mr.
25 Blattacharya meant was that the planning reserve

1 margins, is that correct? Am I --

2 MR. O'DONNELL: That's exactly correct,
3 and --

4 PRESIDING MEMBER BYRON: All right.

5 MR. O'DONNELL: -- but those planning
6 reserve margins are all based on units in the
7 supply curve that are assumed operable no matter
8 what. And that have significant reliability.

9 And what was found in terms of PJM
10 incident in the mid 1990s was that units that were
11 on the books and counted on to be a part of that
12 reserve margin requirement were unable to fulfill
13 that requirement. And so I think that bodes well
14 in terms of looking at reliability of the
15 generation fleet.

16 The second issue that we would like to
17 comment on, based on the question, was around
18 wind, and Mr. Blattacharya's concern about wind
19 energy. And the several major structural issues
20 that apply.

21 And I think that goes into the earlier
22 dialogue around storage technologies and storage
23 issues. Because one of the things that we've seen
24 in terms of our analysis of wind in North America
25 and Europe is the ability to levelize generation

1 within a control area, and be able to monitor that
2 within an electrical control area.

3 And so a lot of this goes into the
4 historical argument about the intermittency of
5 wind. And what that really does for an
6 operational utility or a control area, an ISO, is
7 it provides a significant amount of stress on the
8 system where you're asking fossil units, gas-
9 fired, combined cycle or simple cycle units, or
10 even diesel peakers, to be able to respond on a
11 moment's notice.

12 And what can happen in a control area is
13 that oftentimes the fossil-based generation cannot
14 necessarily respond quickly enough to meet the
15 needs of the wind generation.

16 And so we thought that was a significant
17 comment, as well, in terms of -- and I think this
18 points to the ongoing use of storage in wind
19 technology.

20 In terms of geothermal, the waste
21 disposal costs and byproducts, we are taking that
22 as an action item for our research team. We think
23 that is something that would be important for us
24 to look at, and we will do so.

25 And in terms of AFUEC, that's something

1 where we will look at the numbers, as well. But I
2 have a feeling that we already have included AFUEC
3 in there. We will verify that as a part of the
4 comments in the return. Thank you.

5 PRESIDING MEMBER BYRON: That would be
6 important. I tend to agree with Mr. Blattacharya,
7 I don't think they're in there, but we'd like to
8 know that, if they are.

9 MR. O'DONNELL: And we will verify that,
10 sir. Thank you.

11 PRESIDING MEMBER BYRON: Okay, thank
12 you.

13 MR. ALVARADO: Yes, we're open for any
14 other questions in the audience, and later we will
15 open up questions to folks that might be listening
16 on WebEx.

17 MR. TOWNLEY: Thank you. Dave Townley
18 with Infinia Corporation. A request and then a
19 couple clarification questions on the solar data
20 that's here.

21 The request is a followup of the
22 Commissioner's request -- or question earlier,
23 regarding greenhouse gas sensitivities. And
24 certainly if we could do that in this process to
25 begin to at least look at a range of potential

1 costs, greenhouse costs, and see the sensitivities
2 of some of these technologies to that, would be
3 very insightful.

4 Question on solar, specifically PV.

5 Certainly I think you already caught the dollar-
6 per-kilowatt -- dollar-per-megawatt piece, but it
7 says that it's a tracker, single axis tracker.
8 And yet in the presentation, itself, it shows
9 pictures of fixed panel and talks about fixed
10 panel. Is this single axis tracker? Is it fixed
11 panel? Is it crystalline -- so, one question
12 there.

13 And then would you comment, you show a
14 very good graph that solar -- does in keeping
15 track of the retail module pricing. And the
16 current pricing shown here is dollar-per-watt dc,
17 when adjusted for ac, it's above your installed
18 cost. So the panel cost, retail panel cost, is
19 above the cost your show as installed.

20 So the implication being that I guess
21 the developers cost of that panel is so discounted
22 that it accounts for the land cost, the inverter
23 cost, the wiring, all those other costs that make
24 up. If you could comment on that, as well?

25 Thank you for the opportunity for

1 questions.

2 MR. ALVARADO: Gentlemen, do you care to
3 respond to some of these questions?

4 MR. O'DONNELL: On the solar
5 technologies, the solar technology that was used
6 was a single axis tracker and not a fixed panel.

7 In terms of technologies, the research
8 team is looking at both crystalline and thin film.
9 And part of that is the amazing amount of research
10 that's been done primarily around thin film
11 technologies starting in Japan and then moving
12 into North America.

13 In terms of the current pricing and the
14 solar -- reports, one of the things that I think
15 we will do is we will revisit those just to be
16 sure.

17 One of the things that we found in the
18 research in solar data is there's a substantial
19 amount of variation in the cost data that's being
20 provided in the industry. And some of that goes
21 from, you know, not just the installed costs and
22 the cost decline of the modules both in Europe and
23 Asia and in North America, but also in terms of
24 the overall installed costs.

25 And I think one of the things that we

1 found, as a team, is that there was a substantial
2 variation in the cost numbers. And those cost
3 number variations were actually in the range of
4 \$400 to \$500 per kW installed. Which may account
5 for some of the things that you have illustrated
6 in the questions to us.

7 So I think it's a good question for us
8 to explore, and I'm certainly happy to do that.
9 The one thing I would mention is that there's a
10 substantial amount of variation in the published
11 literature and the market data that we have.

12 Thank you.

13 MR. SHEARS: Good morning, Commissioner
14 Byron, I'm John Shears with the Center for Energy
15 Efficiency and Renewable Technologies. I'm
16 standing in for Danielle Mills, who's our, who's
17 our, you know, utility issues.

18 I just want to echo the previous
19 speakers' emphasis that we also support exploring
20 a greater reflection of comment on carbon policy
21 in this analysis. We think that now we're in this
22 AB-32 post scoping plan world, that that would be
23 very valuable to examine the implications of
24 carbon pricing on the technologies.

25 And just also had some clarifying

1 questions. Unfortunately, we didn't have a lot of
2 time to go over all the presentation slides that
3 were posted yesterday. Just wanted to check with
4 the consultants, it appears that transmission
5 costs were attributed to wind power projects. So
6 rather than that being looked at as an overall
7 system benefit, or ratepayer benefit, the
8 transmission costs were actually attributed
9 directly to the windfarm projects.

10 So I'd like to get a clarification on
11 whether that is a unique driver attributed to at
12 least onshore projects.

13 And then, again, reflective of carbon
14 policy if, indeed, the wind is being attributed
15 with other resource access costs that come with
16 new transmission, then on the flip side we're
17 looking at IGCC ultimately for carbon capture and
18 sequestration, we end up with a resource access
19 issue for sequestration, having associated costs
20 with pipelines siting of the pipelines, et cetera.

21 So I'd just like some clarification on
22 that. And also whether the Commission thinks
23 that's also a valid point in terms of accessing
24 and sequestering carbon and the resource areas
25 available for that.

1 And then unfortunately April 23rd is a
2 very rapid turnaround time on comments. We're
3 planning on submitting some written comments, but
4 it doesn't provide us with a lot of time to
5 consult with our renewable affiliates on a lot of
6 the cost assumptions in the work that the KEMA
7 consultants have provided. So, we'll do our best.
8 But it would -- we would have preferred to have a
9 little more time to look at this and get back to
10 the Commission.

11 And then just one observation on the
12 offshore wind. My understanding is on the Cape
13 Wind Project, which is the first major offshore
14 wind project in the U.S., besides the
15 complications that were noted that one of the
16 large initial complications was, in fact, the
17 issue of the state versus various federal agency
18 jurisdictional issues had never been dealt with
19 before until 2005, to clarify, at least whether
20 the federal jurisdiction should lie.

21 So, hopefully going forward in wind
22 power projects in California won't have to go
23 through that territory again. Although,
24 obviously, there will still be the community, you
25 know, and the issues that come with those kinds of

1 projects. So I just wanted to also add that
2 observation.

3 Thank you.

4 PRESIDING MEMBER BYRON: Thank you, Mr.
5 Shears. Let's see if we can answer some of these
6 questions. Would you like to go right ahead?

7 MR. O'DONNELL: In looking at the
8 questions they're good ones. I think in terms of
9 supporting climate and carbon policy, that's more
10 of a question for the staff and the Commission,
11 itself.

12 In terms of transmission costs that are
13 associated with windpower projects, we absolutely,
14 100 percent agree with your statement that the
15 transmission costs are highly variable.

16 As we understand this, the overall cost
17 of generation study allows us to provide screening
18 curves through Mr. Klein's work and the staff's
19 model that will allow the California Energy
20 Commission to make rational decisions around
21 policy, around the future in terms of what's best
22 for the state of California.

23 The issue at hand is kind of a complex
24 one, and that's how do you value transmission
25 costs for a site-specific development, such as

1 onshore wind, or even offshore wind, and be able
2 to take that in the aggregate and bring that down
3 to a screening level.

4 And that's where the difficulty, I
5 think, comes in. I think part of the question
6 behind the question is transmission is obviously
7 an issue in the wind industry because when you're
8 looking at siting turbines on ridge lines and so
9 forth, you generally are looking at new
10 transmission construction and implementation.

11 What we have done is based on
12 discussions with the staff in terms of looking at
13 the overall transmission cost as sort of an
14 overall aggregate cost, versus trying to
15 understand a site-specific transmission component
16 from the multitude of facilities that's around
17 there. We've looked at that more as an average
18 proxy base for transmission.

19 But we certainly understand and agree
20 with the comment that the transmission costs are a
21 highly site-specific component and driver of wind
22 energy in the state of California, or anywhere
23 else.

24 So I hope -- did I answer your question
25 in that respect?

1 MR. SHEARS: Yeah, and this comes down
2 to the philosophical perspective on whether, you
3 know, it's fair to, you know, apply those costs to
4 renewable resources when it's an overall system
5 benefit.

6 And what we would like to see is, you
7 know, the current system already has the benefit
8 that it's linked up to the transmission system,
9 and this is part of the challenge with large
10 central station renewable versus traditional
11 fossil where you can basically park the fossil
12 plant wherever you deem fit, whereas you have to
13 go where the renewable resource is.

14 And so what we would also like to see is
15 maybe a comparison in the -- or at least a way to
16 display that that cost is separated out from the
17 analysis so that the power plant facility costs
18 are directly comparable of the transmission having
19 to necessarily be wrapped into the total numbers.

20 So, some way of parsing that so we can
21 have a discussion about that facility, the
22 differences in philosophical perspective.

23 MR. O'DONNELL: Transmission neutral.

24 MR. SHEARS: Right.

25 MR. O'DONNELL: Mr. Klein may have a

1 perspective, so I'll turn the microphone to him.

2 MR. KLEIN: Thank you. I'd like to
3 clarify this that the transmission costs we're
4 talking about are not the system upgrades, but the
5 umbilical cord from the generating plant to what
6 it takes to connect.

7 And the reason why we're focused
8 somewhat on transmission costs, or for that matter
9 any costs, is when we get a question from
10 somebody, they say, well, how much does this cost.
11 My first answer always says, well, it depends.
12 What are you talking about. And one of the
13 questions is how long will your transmission line
14 be.

15 And this is why in this effort we're
16 going to concentrate on having high low values.
17 We'll have nominal average values, but we'll have
18 high and low values. So when somebody is trying
19 to compare one technology from another, they can
20 see that there may be some overlap there in costs.
21 And that they have to actually get into the
22 details to make that decision instead of just
23 taking an average value that they've typically
24 looked at and jump to a conclusion of, you know,
25 that's clearly the cheapest.

1 MR. SHEARS: Right. I understand that
2 that's necessary, but at the same time, you know,
3 we think when we're comparing power plants against
4 power plants, just like to be able to see the
5 numbers sort of separated out as, you know, the
6 phrase transmission neutral.

7 Is there a way to do that, so you have
8 those numbers available that you're talking about,
9 so we can make, you know, -- we have technical
10 staff that are working on these issues, as well,
11 with the Energy Commission. So, we're aware of
12 that. So, am I being clear on what I'm asking or
13 am I missing the point?

14 PRESIDING MEMBER BYRON: Yes, I think
15 you're being clear. And going back to the
16 original question, I think the only place that I
17 saw transmission costs built into the analysis
18 that -- I'm sorry, the presentations you gave, was
19 in the wind costs, correct, both onshore and
20 offshore.

21 MR. KLEIN: Well, this is a question
22 that I have actually that I haven't had a chance
23 to ask this question to KEMA. But the original
24 instructions were that all technologies would have
25 associated transmission costs, that what was

1 required to connect that technology to the
2 existing system.

3 And whether, in each case, they've
4 actually included those costs, I haven't had a
5 chance to discuss that with them. And also they
6 have been rushing, so maybe some of their data
7 isn't as complete as they would like to have it.

8 PRESIDING MEMBER BYRON: Let's see if we
9 can pin that down now.

10 MR. KLEIN: Yeah.

11 PRESIDING MEMBER BYRON: Can we get a
12 sense? Is it only in the wind, or is there
13 transmission costs associated with all the
14 technologies in the analysis.

15 MR. O'DONNELL: There are transmission
16 costs that are currently associated with all of
17 the technologies installed. And I think they're
18 fairly level across the spectrum.

19 And part of the issue is the
20 transmission for any resource is highly site-
21 specific. And so we have, I think we have some
22 additional work to do in the transmission
23 components.

24 PRESIDING MEMBER BYRON: This is the
25 problem with using an average number. There's a

1 lot of variability because locationally dependent.

2 MR. O'DONNELL: That's correct.

3 PRESIDING MEMBER BYRON: Mr. Shears is
4 up again.

5 MR. SHEARS: Right, so they're not, just
6 to be consistent across the board. I guess it
7 would be useful so that, you know, in the display
8 in the text of this staff report, you know, that
9 there's some display, somebody can show how that
10 cost is separated out from the plant.

11 So we can look at it from all angles.

12 MR. O'DONNELL: And that's absolutely a
13 part of the data templates that we're providing to
14 the CEC and Mr. Klein's efforts, yes. So that is
15 separable.

16 There was another question, I think, in
17 terms of carbon policy. And I think at the moment
18 the carbon policy costs are not necessarily in
19 scope in terms of our work to date.

20 In terms of IGCC and carbon capture, we
21 have specifically excluded carbon capture at the
22 moment and sequestration technology from the scope
23 of the IGCC analysis. And the primary reason
24 isn't that it's not a part of the current
25 discussion around IGCC. Because I think that's

1 one of the prime benefits of IGCC.

2 What we're seeing a lot of in the
3 marketplace today in terms of commercial
4 embodiment is the construction of IGCC plants that
5 are sequestration modifiable. In other words,
6 that are being set up so that you can operate the
7 plant as a traditional IGCC today, but will have
8 the ability to do carbon capture in the future.

9 And I think one of the things that you
10 pointed out quite well in your commentary that we
11 also agree with, is that siting of pipelines for
12 sequestration is a very huge issue there.

13 Our concern today, from a KEMA technical
14 perspective, is that the carbon sequestration
15 technology has not yet been commercially embodied
16 to our knowledge. And so to try and opine on that
17 for the purposes of the study would be quite
18 difficult.

19 And then finally, on the offshore wind
20 question with Cape Wind, absolutely correct that a
21 primary stumbling block was the difference between
22 federal and state jurisdictions. That has now
23 been resolved.

24 Thank you.

25 PRESIDING MEMBER BYRON: Okay. There

1 were two other issues Mr. Shears brought up. I'd
2 prefer that we not continue in a dialogue here.
3 Really, we're trying to do public comment and get
4 through our workshop.

5 So let me see if I can address your
6 other two issues. One, with regard to IGCC
7 meeting sequestering of carbon, there are a number
8 of other generation technologies here that create
9 carbon, including, as I've learned recently, flash
10 geothermal creates a fair amount of CO2.

11 So, I think, again, given that we're
12 talking about a cost of generation model, what
13 we're interested in making sure that that model
14 has the capability to include the cost of the
15 carbon in doing the analysis. And I would assume
16 that that cost of carbon would reflect, eventually
17 reflect the cost of the capture and the
18 sequestration that would be necessary in these
19 high carbon outputs. Remember natural gas -- has
20 as much carbon as an IGCC plant would, as well.

21 The second thing I believe you said that
22 we haven't addressed was the comment period. And
23 I was going to turn to staff and ask if there was
24 any latitude on the comment period. Because we
25 welcome good comments. And we're responsive to

1 the public's schedule, as well as our own.

2 MR. ALVARADO: I think the week comment
3 period is mostly driven to our own internal
4 schedule. Once we've digested a lot of the
5 comments we've had today, and take the results
6 from the KEMA study, we will move into our next
7 phase. And so that's pretty much what's driving
8 at least our schedule here.

9 I mean we would definitely like to hear
10 any comments. This project is not over. As we
11 indicated, the next phase will be a workshop on
12 July 22nd where we will then present not only the
13 input of all the technologies, including the
14 natural gas plants, but also the levelized cost
15 results.

16 So I'd say that there is definitely
17 further opportunity for any comments.

18 MR. SHEARS: I wasn't going to debate
19 any further. I was just going to maybe ask if,
20 given the uncertainty, you know, in terms of
21 commercial readiness of CCS associated costs,
22 whether it would seem reasonable to have the
23 quality of consultants provided -- qualitative
24 discussion of the issues, as they see this being
25 related to the issues associated with making an

1 IGCC plant CCS capable.

2 PRESIDING MEMBER BYRON: Well,
3 essentially what the cost range would be for --

4 MR. SHEARS: Yeah, --

5 PRESIDING MEMBER BYRON: -- carbon
6 capture and sequestration?

7 MR. SHEARS: -- and the challenges that
8 would be associated.

9 PRESIDING MEMBER BYRON: And that's
10 going to be variable, as well, for the different
11 generation technologies.

12 Well, you can certainly put that in your
13 comments, please. And I'll ask staff to consider
14 that.

15 Any other public comments?

16 MR. CAMPBELL: Good afternoon. My name
17 is Matt Campbell and I'm with Sun Power. At Sun
18 Power I manage our long-term levelized cost
19 electricity model. And I manage our utility power
20 plant products.

21 Just wanted to make a few comments on
22 the dialogue today, and I'd say, by the way,
23 excellent and very interesting report by KEMA. I
24 think it's one of the best jobs I've seen of
25 aggregating what is very difficult to gather data

1 and put it in an objective format.

2 The points I'd like to make first are
3 the rapid growth of photovoltaic power plants.
4 This was alluded to, but I think it's happened
5 even faster than some might think.

6 There's now over 3 gigawatts of
7 photovoltaic power plants that have been
8 constructed around the world. It's difficult to
9 know the exact number, but at least 2 gigawatts
10 was built in the last year in Spain, and the
11 balance in Germany, and to a lesser extent in the
12 United States.

13 In the process of scaling up to this
14 gigawatt level the plants have become much larger.
15 So, four years ago we built that largest power
16 plant in the world, which was 10 megawatts. The
17 largest is now 60 megawatts. And in a few years
18 it could be well into the 100s, as we've seen in
19 projects in California.

20 The other thing to note is the rapid
21 decline in costs. So there was an unusual
22 situation in the last two years where there was a
23 global shortage of photovoltaic panels.

24 And it's been pointed out correctly that
25 the panel cost is actually higher than -- or was

1 higher than some of the power plant costs that
2 were referenced in the report. And then that's
3 true. In fact, panels were sold on the spot
4 market over \$5 per watt just a year ago. And now
5 you can get a turnkey power plant for less than
6 that.

7 So, there was an artificial supply/
8 demand imbalance, which is now cleared because of
9 global macroeconomic changes, as well as a huge
10 growth in the number of factories all around the
11 world, both in polysilicon factories, as well as
12 solar cell factories, --

13 PRESIDING MEMBER BYRON: That global
14 macroeconomic change that you're referring to is
15 the economic downturn we're all experiencing,
16 correct?

17 (Laughter.)

18 MR. CAMPBELL: Correct. And, really,
19 the biggest impact is that slowed project finance
20 so there's a queue of projects that are waiting to
21 be built. It's also affecting the wind industry.
22 But because the projects aren't being finished, it
23 creates an over-supply situation and a correction
24 in the pricing.

25 But I think probably the biggest driver

1 is more factories coming online in secondary, the
2 recession.

3 Some other interesting things to note is
4 two scaling effects with the photovoltaics. One
5 is in the size and the technology used in the
6 factories. So the factories used to be 100
7 megawatts. Now they're scaling to 500 megawatts
8 or a gigawatt.

9 So you get economies of scale that are
10 similar to what you see in semiconductors or flat
11 panel televisions, where the production cost goes
12 down. And sometimes geometrically with the size
13 of the factory.

14 The other is scale in the size of the
15 power plant. So, it was only a few years ago in
16 California all of our power plants, if you call
17 them power plants, were a megawatt.

18 But what we've found is as you go from a
19 megawatt to, like this year we're building a 25
20 megawatt in Florida for Florida Power and Light,
21 it's actually much cheaper, and there's a scaling
22 effect that we anticipated but it's actually
23 proven to be better than we had anticipated.

24 And it's kind of obvious because you
25 have fixed costs associated with mobilization,

1 project management, purchasing power in the
2 components. So clearly as you go from one
3 megawatt to 250 megawatts it's a curve. And
4 there's a need of a curve around 25 megawatts. So
5 I think you guys are correct in your identified
6 unit size that you get a big scale there.

7 And then a third point on scaling, as it
8 relates to O&M, I think you should look at your
9 O&M costs, because there is a scaling impact in
10 that for the large power plant, for photovoltaics.
11 The ratio of people to capacity goes down and you
12 can have specialists full time on the site. So
13 you get a big benefit there.

14 The next point I'd like to comment on is
15 land and land use. So, I agree with the
16 Commissioner, this is a huge issue. We're seeing
17 it all around the world. And the issues are
18 aesthetic, environmental, species; in Europe,
19 archeological. So, you know, obviously the plants
20 require a lot of land, and there is an impact.

21 And then you've got finite transmission,
22 and then you've got finite buildable sites. And
23 then you've got a strong desire to locate the site
24 where there's a lot of resource.

25 So, as vast as the desert seems, when

1 you start applying constraints, it is more of an
2 issue. And we're seeing land prices increase
3 substantially. And to the point where it was
4 immaterial in the past, it is material now. But
5 not prohibitive.

6 The other point is on capacity factor.
7 I think this is really important. Is the vast
8 range of capacity factors that you can see from a
9 photovoltaic plant.

10 So if you build the plant in Sacramento
11 as opposed to the Mojave, you could have as much
12 as a 50 percent delta incapacity factor, and then
13 you apply technologies like tracing, those improve
14 the capacity factor. So I encourage an evaluation
15 of a range of capacity factors.

16 There's a nuance with capacity factor in
17 that the design of the plant influences the
18 capacity factor through your ratio of dc panels to
19 ac, and how they're managed, whether they track,
20 how their temperature performance is. So there
21 are design issues that can cause a range of
22 capacity factors.

23 The other thing in the evaluation it may
24 be worth doing is addressing peak period capacity
25 factors. So, you know, obviously with solar it

1 correlates with peak demand, but, you know, in the
2 summer period you can see capacity factors, say
3 June, July, August, of up to 38 percent in the
4 very good locations.

5 And during the period of say 1:00 to
6 8:00 in the afternoon, the peak capacity factors
7 can be in excess of 70 percent with a tracking
8 system. So, very good correlation with demand.

9 And then finally, I think, there's a
10 predictability element as you evaluate renewables
11 and the ability to deliver the capacity factor
12 from year to year. And photovoltaics are quite
13 good, on an annual basis, delivering capacity
14 factor within a pretty tight spread based on
15 weather.

16 And then lastly, I'd just like to bring
17 up the issue of water. And although it doesn't
18 today go into the economic model, maybe we need a
19 placeholder for it, because clearly the different
20 technologies have either a different consumption
21 of water in the steam cycle, or they have some
22 sort of external water impact in terms of
23 impacting salinity of the ocean, if it's using
24 ocean water for cooling; or in the temperature if
25 you're using a river or a lake to cool your

1 thermal power plant. So I think it's worth
2 putting on the certainly qualitative assessment,
3 if not the quantitative assessment.

4 PRESIDING MEMBER BYRON: Both of those
5 kinds of cooling are going to be off the table for
6 not just renewable power plants, but for any other
7 kind of generation.

8 Thank you for your comments.

9 Please.

10 MS. HEDRICK: I'm Jennifer Hedrick. I
11 work for Southern California Edison, where I'm a
12 project manager. And I appreciated the
13 comprehensive presentation today. It was very
14 interesting. I look forward to the continuation
15 of the study and participating in the future in
16 making comments.

17 I just had a couple comments today,
18 though. And the first one actually refers to the
19 IGCC plant and the carbon capture and storage, and
20 including the cost in the study.

21 I wasn't sure if it was in or out, and I
22 appreciate the previous question because now I
23 know that it's not included in there.

24 It's a potentially important factor in
25 the overall cost of a plant. And the technology

1 exists for enhanced oil recovery. And then the
2 technology for gasification is used in many other
3 ways than just to generate electricity.

4 So the ability to capture the CO2 also
5 exists. So I'm wondering if you could piecemeal
6 from these other industries a reasonable cost
7 estimate.

8 And the reason I say that is I see real
9 value in this information, not just now, but in
10 the future. I appreciated the slides earlier
11 which showed well, in 2003 these were the values.
12 And here it is now. And I think those trends are
13 going to be very important.

14 And with the technology like IGCC with
15 CCS, I think it's important for us to be able to
16 look at what we would expect to be a downward
17 trend in these costs as more of these plants are
18 built.

19 And it seems to be an important
20 technology for us in the future because unlike the
21 renewables, as we talked about earlier, that
22 siting them requires transmission. There's a lot
23 more openness for siting a plant like it's a
24 baseload plant.

25 So we would expect it to potentially be

1 a very important part of the future portfolio.
2 But we want to make sure that we capture all the
3 costs we see now, so that we're able to realize
4 the down trend as times goes on and we can see
5 that trend.

6 So I offer that comment for your
7 consideration.

8 The next one I wanted to talk about is
9 actually the size of the plants that are listed in
10 the study. I really appreciated the number of
11 variables that have to be dealt with, and the
12 megawatt capacity of the plant is just another
13 one, but it's a very important one when it comes
14 to cost.

15 And some of these technologies like
16 geothermal, it must have been very difficult to
17 pick 50 megawatts. But it could have a
18 significant impact. I'm wondering if some of the
19 technologies like geothermal you could have some
20 type of a series of curves, or a variability, you
21 know, to better include the 5 megawatt as a
22 greater than 50 megawatt.

23 And then along that line, kind of in
24 reference to the megawatts, I guess back to the
25 IGCC plant, then, it was interesting that the size

1 that was selected, 300 megawatts, is pretty
2 indicative of the existing IGCC plants in the
3 world. There are about 300 megawatts right now.

4 But I think the new ones are looking
5 more at a larger size because of the potential of
6 the technology. It's time to increase the size
7 and, you know, because of all the good aspects
8 they have, we can make them bigger, put them where
9 there already is transmission. And so there's
10 value in being able to do that.

11 So, I was curious about the selection of
12 300 megawatts, why not more like 600 megawatts?
13 Like the Edwardsport plant is planning. And I
14 think some other plants around the world are
15 looking toward that bigger size.

16 It may, in fact, you know, it seems like
17 this report is so comprehensive there are many
18 ways it could be used in the future. And perhaps
19 using something like 300 megawatts in this
20 technology, and other technologies, could actually
21 limit assessment of the size.

22 In other words, in looking at building a
23 power plant of this type, if someone looks at this
24 report and sees 300 megawatts, it may limit the
25 thinking in going bigger to 600 megawatts. And

1 that might be the right answer.

2 So I would just caution that it seems
3 like we wouldn't want to limit development here by
4 inadvertently down-sizing the size of the power
5 plants.

6 So, thank you very much that we had a
7 chance to make some comments today.

8 PRESIDING MEMBER BYRON: Thank you for
9 your comments. I'm not sure that you really can
10 respond to all of those right now. I mean I can
11 appreciate the difficulties in taking a reasonable
12 sized plant that you're going to do your analysis
13 on. I think of nuclear, you know, if somebody
14 were to build a nuclear plant they'd build two.
15 And then your costs go out the window, as well
16 there, too.

17 So they are good points, though, Ms.
18 Hedrick. I'm not sure if you're looking for a
19 response right now, but certainly I think these
20 are points that we should consider in future
21 generation --

22 MS. HEDRICK: I don't need a response
23 right now, thank you.

24 PRESIDING MEMBER BYRON: Thank you.

25 Any other public comments?

1 MS. KOROSSEC: Is there anyone on the
2 phone that's interested in commenting? The lines
3 are open for those on the phone if you'd like to
4 make a comment.

5 MR. van AART: (inaudible).

6 PRESIDING MEMBER BYRON: Could you
7 please identify yourself?

8 MR. van AART: Frans van Aart, KEMA.

9 PRESIDING MEMBER BYRON: Yes, we have a
10 difficult reception with you. I hope we'll be
11 able to understand you, but go right ahead.

12 MR. van AART: Okay. (Indiscernible.)

13 PRESIDING MEMBER BYRON: Yes, we can
14 hear you.

15 MR. van AART: Okay. Concerning the
16 (inaudible) of the IGCC plant, this one is based
17 on the experiments (inaudible) worldwide with
18 IGCC. I agree that there may be in the future a
19 somewhat increase of scale, maybe with a maximum
20 of 25 or 50 percent, but certainly not the 600
21 megawatt scale.

22 The limit is, in fact, in capacity of
23 the gasifier and also the capacity of the gas
24 turbine which is suitable for our syngas
25 commercial.

1 MR. SPEAKER: (Indiscernible.)

2 PRESIDING MEMBER BYRON: Go ahead;
3 there's just a little bit of noise on the phone
4 line. You can proceed.

5 MR. van AART: Okay. When you want to
6 go to a 600 megawatt that will certainly be a
7 plant consisting of two gasifier lines and maybe
8 also two gas turbines.

9 And for this study we elected to use a
10 one-module approach.

11 PRESIDING MEMBER BYRON: Okay. I think
12 I understand your comment. IGCC limited to the
13 size of the gasifier, and therefore the 300
14 megawatt sizing isn't what you think to be a good
15 size for this --

16 MR. van AART: Yeah.

17 PRESIDING MEMBER BYRON: -- analysis.
18 Thank you for joining us.

19 MR. LOCHNER: Maybe another comment? My
20 name is Karl-Heinz Lochner. I'm the consultant
21 for the nuclear. And is for the question from the
22 gentleman about does the AFUEC cost included. I
23 checked it in the meantime. And my understanding
24 was I think it's correct, this means that the
25 financial cost of construction. I think this was

1 the understanding.

2 And I checked this one, and this costs
3 are included.

4 PRESIDING MEMBER BYRON: Very good. So,
5 can you also tell us what duration construction
6 time you assumed, as well?

7 MR. LOCHNER: Then the construction time
8 is typical between seven and nine years.

9 PRESIDING MEMBER BYRON: Okay. Very
10 good. Thank you for being able to close on this
11 issue all the way from, I assume you're calling
12 from Holland.

13 MR. LOCHNER: I'm from Germany --

14 PRESIDING MEMBER BYRON: Germany
15 (Laughter.)

16 PRESIDING MEMBER BYRON: All right,
17 good; thank you.

18 MR. van AART: I'm calling from Holland,
19 yes, from the Netherlands.

20 PRESIDING MEMBER BYRON: Thank you very
21 much. It's a little late there, gentlemen.

22 Do we have any other commenters on the
23 phone?

24 MR. van AART: (Indiscernible.)

25 PRESIDING MEMBER BYRON: Well, I think

1 we're very close to finishing here. If there's no
2 other comments, can we go ahead and close.

3 I'd like to thank the staff; I'd like to
4 thank all of you who attended here today. Very
5 good presentations. Thank our contractor, as
6 well, on this work. And particularly those who
7 came here from the public that were willing to sit
8 through this and learn with me, as well as make
9 comments.

10 This will be very helpful to me and to
11 my fellow Commissioner, Jim Boyd, on the IEPR
12 Committee.

13 It is quarter to 1:00. I think it's
14 time for everybody to go to lunch. Thank you,
15 all.

16 (Whereupon, at 12:45 p.m., the Staff
17 workshop was adjourned.)

18 --oOo--

19

20

21

22

23

24


25

CERTIFICATE OF REPORTER

I, PETER PETTY, an Electronic Reporter, do hereby certify that I am a disinterested person herein; that I recorded the foregoing California Energy Commission Staff Workshop; that it was thereafter transcribed into typewriting.

I further certify that I am not of counsel or attorney for any of the parties to said workshop, nor in any way interested in outcome of said workshop.

IN WITNESS WHEREOF, I have hereunto set my hand this 11th day of May, 2009.



PETER PETTY