

JOINT COMMITTEE WORKSHOP
BEFORE THE
CALIFORNIA ENERGY COMMISSION

In the Matter of:

Preparation of the 2009
Integrated Energy Policy Report

)
) Docket No. 09-IEP-1G



ORIGINAL

SMART GRID TECHNOLOGIES TO SUPPORT CALIFORNIA'S POLICY GOALS

EAST END COMPLEX
1500 CAPITOL AVENUE
FIRST FLOOR, AUDITORIUM
SACRAMENTO, CALIFORNIA

WEDNESDAY, MAY 13, 2009
Day I

10:00 A.M.

Reported by:
Barbara Little

CALIFORNIA REPORTING, LLC
52 LONGWOOD DRIVE
SAN RAFAEL, CA 94901
415-457-4417

DOCKET

09-IEP-1G

DATE MAY 13 2009

RECD. JUN 03 2009

COMMISSIONERS PRESENT:

Jeffrey Byron

Arthur Rosenfeld

PANEL MEMBERS:

Rachelle Chong, Commissioner, PUC

Kellie Smith, Senator Alex Padilla's Office

Jim Detmers, California Independent System Operator

Michael Gravely, Energy Commission

Terry Mohn, SDGE

Paul De Martini, SCE

Kevin Dasso, PG&E

Jim Parks, SMUD

Richard Schomberg, Electricite de France

Fred Fletcher

Peter Karpoff, DOE

Mike Brown, GE Communications

Eric Hsieh, NEMA

Eric Dresselhuys, Silver Spring Networks

David Kreiss, The Current Group

Tim Simon, U-SNAP Alliance

David McCalpin, GE Appliances

ALSO PRESENT:

Ron Hoffman

Stacey Reineccius, Powergetics, Inc.

Merwin Brown, CIEE

David M. Tralli, Jet Propulsion Laboratory, Pasadena

I n d e x

	Page
Introductions	
Mike Gravely, Energy Commission	6
Opening Comments	
Commissioner Jeffrey Byron	7
Panel Discussion	8
California Energy Commission - Commissioner Jeffrey Bryon	
California Energy Commission - Commissioner Arthur	
Rosenfeld	9
California Public Utilities Commission - Commissioner	
Rachelle Chong	10
California State Senator Alex Padilla's Office - Kellie	
Smith	13
California Independent System Operator, Jim Detmers	16
How will California's Energy Goals Impact the California	
Smart Grid	
Energy Commission - Michael Gravely	18
Question & Answer Session	72
Lunch	91
Second Panel - Utility Perspective Presentations	92
SDGE - Terry Mohn	94
SCE - Paul De Martini	102
PG&E - Kevin Dasso	111
SMUD - Jim Parks	118

Index	Page
Electricite de France - Richard Schomber	122
Fred Fletcher, Southern California Power Authority	134
Question & Answer Session	104
Dr. Peter Karpoff	163
Afternoon Break	172
Third Panel - Industry Perspective Presentations	
Facilitated by Ron Hoffman	172
GE Communications- Mike Brown, Industry Segment Manager	173
NEMA - Eric Hsieh Energy - Infrastructure Policy Manager	180
Silver Spring Networks - Eric Dresselhuys	215
The Current Group - David Kreiss	192
U-SNAP Alliance - Tim Simon	196
GE Appliances - David McCalpin	202
Question & Answer Session	208
Public Comments	217
Day 1 Summary	231
Adjournment	233
Certificate of Reporter	234

P R O C E E D I N G S

1 9:00 a.m.

2 MR. GRAVELY: Good morning, everyone. Please take
3 your seats, we'll be starting in a few moments. Those of
4 you who are online with the WebEx, you will find that
5 your systems have been muted because of the noise here.
6 There will be times throughout the day that we will allow
7 you to make comments. You can also type in your
8 comments to the moderator, from that perspective.

9 For the attendees today, this is an Integrated
10 Energy Policy Report Workshop, and there is opportunity
11 for comments during the day and at the end of the day.

12 We request anybody who wants to make comments to
13 please pick up one of the blue cards Jim is showing you
14 back in the back. Just pick up a blue card and then turn
15 it into the - down here at the front office here and
16 we'll get it into Commissioner Byron for comments at the
17 right time.

18 So anytime you want to speak, fill in your name and
19 information.

20 The proceedings today are being recorded and there
21 will be a transcript, for those of you online and those
22 of you who might want it later for information.

23 Just one quick administrative thing, for those in
24 the room here, we're obviously in a large conference
25 room. The facilities are outside. We request you do not

1 bring any kind of food or drink into the room.

2 If we have any kind of emergency, the two exits in
3 the back are the best way out and straight out to the
4 street and go from there.

5 And with that, I'll turn it over to Commissioner
6 Byron and allow him to open up the Workshop.

7 COMMISSIONER BYRON: Thank you, Mr. Gravely. And
8 welcome everyone to our new digs here, at the Energy
9 Commission. What building are we in, please?

10 MR. GRAVELY: The building name?

11 COMMISSIONER BYRON: Yes. The Department of Health
12 Services. Yes, it's a very nice facility, we're very
13 grateful to be here. I think we had so many other
14 conflicting meetings going on at the Energy Commission.

15 We'd like to thank all of you for being able to
16 find us here. I'll remind the Panel that there's no
17 on/off switches on the microphones.

18 And I do have an illustrious group joining me here
19 today and I'm going to allow them to all introduce
20 themselves.

21 We're here for a joint - no, I don't think it's a
22 joint. Yes, it is, it's a joint committee meeting of our
23 Integrated Energy Policy Report and I believe the
24 Electricity and Natural Gas Committee, on Smart Grid
25 Technologies to support California's policy goals.

1 That's the principal interest that I have in this
2 meeting.

3 But we're also joined by - at the dais, this
4 morning, from a member of the Public Utilities
5 Commission, and our Independent System Operator, and from
6 the Legislature. So we've got a good, diverse Panel up
7 here.

8 We're very interested in this subject for a number
9 of different reasons. And, of course, there's a great
10 deal of interest around the Smart Grid, recently, as
11 regards to stimulus funding, or the American Reinvestment
12 and Recovery Act funds.

13 Commissioner Chong has had workshops at the Public
14 Utilities Commission on this subject. And we have, as
15 well, at the Energy Commission.

16 So we're going to spend a couple of days on this
17 subject. Maybe we'll come up with a definition or two of
18 the Smart Grid that everyone likes.

19 But I'm really interested in the policy aspects of
20 how the Smart Grid can be used for grid management,
21 technology, and communication, as it affects efficiency
22 and integrating renewables, as we move to the high
23 renewables in California.

24 But also having come from the customer side of the
25 meeting, I'm interested in, you know, getting more

1 information and control into the hands of customers, and
2 that's another aspect of Smart Grid that we want to deal
3 with here, over the next couple of days.

4 I'll make my comments brief. And I think we'll
5 just go down the line and I will ask my fellow panelists
6 if they would like to say anything.

7 Commissioner Rosenfeld? Please introduce yourself,
8 also.

9 COMMISSIONER ROSENFELD: Good morning. I'm Art
10 Rosenfeld. I'm the Chair of the Energy Efficiency
11 Committee, which is concerned with building standards.
12 And I'm also involved in demand response.

13 And I'll make some remarks on the Panel. But
14 Commissioner Byron said he hopes to come up with a
15 definition or so of Smart Grid. There are five of us
16 here, I'm sure that makes at least five definitions.

17 And I want to talk for a few minutes about my view,
18 which is sort of the dinosaur's view of Smart Grid.
19 Smart Grid appears to be sexy and evoke ideas of fast
20 switching, and broadband communication, and grid
21 stability.

22 And for me, that's all well and good, and I'm all
23 in favor of it, but there's an awful lot that can
24 contribute to good stability by demand response.

25 I'll remind us all that this is a State which goes

1 from 40 gigawatts typical peak load when we're not in
2 the summer, to 60 gigawatts or so when hot weather
3 appears. We have 20 gigawatt air conditioning systems in
4 this State, which is really responsive and all of which
5 can be reconstituted and emergency dependent, and give us
6 huge reserve margins for relatively short amount of time,
7 like an hour.

8 And we are involved in getting there with
9 everything that's going into - for every customer in
10 California. And that seems to me to be a very important
11 component of the Smart Grid.

12 So it's not very sexy, it doesn't involve instant
13 response, it sometimes involves just warning people 24
14 hours ahead that the price is going to go up on a hot
15 day, one percent of the time. But I think it's very
16 useful. And I will make more remarks about that, I'm
17 sure, as the day goes on.

18 Commissioner Chong.

19 COMMISSIONER CHONG: I wanted to thank you for
20 inviting me to participate on today's Workshop.

21 Over at the California PUC we've been very
22 interested and excited about the potential of the Smart
23 Grid. We see that incorporating information and control
24 technologies into the electric grid can support State
25 energy goals, which include the important expansion into

1 renewable energy, empower consumers as to their energy
2 management, and improving reliability of the system.

3 The PUC has initiated a Smart Grid ruling, starting
4 in December of 2008. I am the assigned Commissioner on
5 that Smart Grid OIR.

6 The PUC's goal in this proceeding is to set very
7 broad Smart Grid policy and to establish an affirmative
8 regulatory framework for the investor-owned utilities,
9 because we do with to encourage and guide a Smart Grid in
10 California.

11 I wanted to make the audience aware of five
12 workshops that we've scheduled in the Smart Grid
13 proceeding, and invite you, cordially, to any of them.

14 First, on May 27th, we will be focusing on the point
15 of contact between the Smart Grid and consumers.

16 Our second workshop is June 5th. This one will
17 focus on aspects of the Smart Grid relating to the
18 distribution system, including automation and the
19 integration of distributed generation and storage.

20 On June 26th, at our third session, we will be
21 looking at Smart Grid and the transmission system.

22 Our fourth workshop will examine how Smart Grid
23 will interact with plug-in, hybrid, and electric
24 vehicles. And I notice I don't have a date here, but I
25 do know by heart that it's July 15th.

1 And, finally, on July 31st, we are focusing on
2 developing an appropriate regulatory approach for
3 encouraging Smart Grid developments in California. So
4 the focus will be regulation.

5 For several years, now, the PUC has been working
6 very closely with our colleagues here, at the Energy
7 Commission, and at the California ISO and, of course, in
8 the Legislature to implement important policies,
9 including the loading order.

10 Our recent efforts on Smart Grid will continue the
11 tradition of working collaboratively with all of them.
12 Most recently, Commissioner Byron and I spent very
13 intense 24 hours together, preparing comments at the
14 Department of Energy, working on some of the proposed
15 guidelines for awarding grants to Smart Grid.

16 We were in Washington, together, discussing Smart
17 Grid developments in California with DOE, the FERC,
18 Congress, and others.

19 So we have delivered the message that California
20 does want to move forward with Smart Grid, and we hope to
21 build on our existing foundation of many developments in
22 California.

23 I am very pleased by the attention the Energy
24 Commission's giving to Smart Grid, especially through the
25 Public Interest Energy Research Program.

1 Smart Grid is still a nascent emerging area and
2 there are many areas that require further research
3 efforts.

4 I would also like to add that I'm very pleased
5 about the Federal focus on Smart Grid. There is
6 leadership meetings going on in Washington, this coming
7 Monday, to get the CEOs of the energy utilities on board
8 on Smart Grid.

9 Also, there is a series of workshops being run by
10 NIST, with the able assistance of EPRI, on the important
11 interoperability standards issue. And I'm very pleased
12 to see that moving along swiftly and I would strongly
13 encourage that. Thank you.

14 MS. SMITH: Good morning, my name's Kellie Smith.
15 I'm a consultant to the Senate Energy Committee,
16 actually, Energy, Utilities and Communications Committee.

17 I'm here on behalf of Senator Alex Padilla. I'm
18 sorry he couldn't be with you today.

19 He is the Chair of our Committee this year, and
20 there's probably no greater champion of Smart Grid in the
21 Legislature, than Senator Padilla.

22 I think his background as an engineer has allowed
23 him to really appreciate how important the Smart Grid is
24 to electricity delivery in California.

25 It is frustrating, though, for us, because we are

1 not technical people, and so I'm going to really address
2 things more from the 10,000-foot level, which it probably
3 comes down to three areas of focus for us.

4 One is renewables, second is efficiency, and third
5 and foremost, ratepayer impact.

6 We all know the importance of efficiency and so I
7 don't need to say too much about that, demand response,
8 et cetera. But when we talk about those things, we do
9 have to keep in mind, and probably one of our greatest
10 concerns is how we engage consumers and make them
11 understand that this is a useful tool.

12 Not to go down a rather frustrating path for the
13 Energy Commission, but we might all recall sometime back,
14 with a release of some information regarding smart
15 thermostats and how that backfired in the community
16 because the public didn't understand exactly what was
17 being proposed, and how it would help them.

18 They saw it as a threat; they saw it as a big
19 brother control mechanism.

20 And that is a good lesson for us, as we roll out
21 Smart Grid, to remember that people are not as
22 technically savvy as we are.

23 The energy world is one of the most complicated
24 policy worlds I think there is, and so we have to
25 approach it very delicately as far as our consumers and

1 ratepayers are concerned.

2 On the renewable side, what we see repeatedly is a
3 tremendous push for different types of renewable
4 integration, especially at the local level with
5 distributed generation, that our grid just isn't ready
6 for.

7 I may be a Lone Ranger, so excuse me, but I think
8 that some people, with the limitations of our grid,
9 currently, have over-valued rooftop solar.

10 We have to remember we have a dumb grid. And,
11 unfortunately, the utilities frequently don't even know
12 that the lights go out. Well, then how do they know how
13 much electricity is being put back on the system from a
14 solar - from a rooftop solar application?

15 We have great pressure in the legislature to do
16 more of this. But Senator Padilla has particularly
17 resisted it because he doesn't think that the grid can
18 manage it appropriately, yet, nor does he think that it
19 is of great value to ratepayers.

20 And, again, I'll come back to the ratepayer issue.
21 A lot of times we'll look at these issues from the
22 standpoint of an individual ratepayer.

23 The CSI and that metering program, we had a lot of
24 folks that come in and tell us how wonderful it is for
25 them, in their application, at their home and their

1 business, that we try to step back and say, well, how
2 valuable, though, is it for all ratepayers.

3 And that's something that we have to keep in mind
4 here. Because while one small group of ratepayers, in
5 some setting, may find the Smart Grid to be of great
6 value to them, or an element of it, is it really
7 effective for all ratepayers? Is it going to help us
8 keep costs down?

9 And over the next few years, as we do start to see
10 more renewables roll out under the grid, and it will
11 happen, it's been slow, but we've really laid a lot of
12 good foundation, and they're going to start coming in and
13 costs are going to go up.

14 The meter applications and other technologies, are
15 costs going to go up?

16 8032 is going to implement and costs are going to
17 go up.

18 And the utilities are going to be on the front
19 line, and so are the Legislators, when people's utility
20 bills come in and they're starting to scream.

21 They may poll well right now, and people say, yes,
22 we like it, but let's really see how much they like it
23 when their bill shows up.

24 And so that's something that we're really trying to
25 keep in mind and be considerate of as these negotiations

1 and discussions move forward.

2 MR. DETMERS: Good morning, my name is Jim Detmers.
3 I'm the Vice President of Operations for the California
4 Independent System Operator.

5 I feel honored to be here amongst the people that
6 are going to make the changes, and I'm not only talking
7 about the Panel up here, but also of you, to be engaged
8 in such a transformation of this system that we now have
9 that is a very old system, and in a lot of ways it is a
10 very dumb system.

11 And it needs to move on and we need to work on this
12 transformation, together, to make sure we do the right
13 things.

14 Again, I'm honored to be up here to talk about
15 Smart Grid. And what we make it is what Smart Grid will
16 be.

17 I really feel that the Smart Grid aspect of what
18 we're doing is the enabler to be able to accomplish the
19 transformation of our supply system, transforming it into
20 20, 33, or even 50 percent renewables on the California
21 system will require, definitely, changes on the
22 distribution side, changes by our customers, changes on
23 the transmission side, as well. All of that has to move
24 forward and it has to advance.

25 And we need - every comment, that I've just heard

1 by all the Commissioners here, they are on the right
2 track, but we really have to position ourselves and
3 really see what this future needs to be so we can take
4 ourselves there.

5 So I think this is one of the opportunities of
6 really forming what that vision looks like as we start to
7 transform what this grid is on the transmission side, the
8 distribution side, the customer side, and all of our
9 resources.

10 So I'm very happy to be here and happy to answer
11 any questions, as well, that I think we're going into
12 here.

13 COMMISSIONER BYRON: Good. Mr. Detmers, as always,
14 we'll save the difficult questions for you.

15 I would - I failed to mention that, unfortunately,
16 my Associate Member on the Integrated Energy Policy
17 Report could not be with us here, today, and that is
18 Commissioner Jim Boyd. And I'm sure that he's sorry that
19 he cannot join us.

20 The next item on the agenda is a panel discussion.
21 However, I'd like to check with my peers, and see if you
22 would be agreeable, I think it would be good to have Mr.
23 Gravely give his short presentation prior to that panel
24 discussion.

25 Let me make sure that we aren't going to lose any

1 of you. You won't get up and leave, Mr. Detmers?

2 MR. DETMERS: No.

3 COMMISSIONER BYRON: Okay. So let's go ahead and
4 do that, if that's not going to cause you any difficulty.
5 I think it would be good to get a little overview of
6 Smart Grid, and then we'll get into the policy
7 discussion. Thank you.

8 MR. GRAVELY: And the lead into here, what I'll
9 discuss here is a brief overview of the Smart Grid and
10 how some of the policies that have already been
11 established in California are impacting that Smart Grid.

12 And again, I'll remind you that after this session
13 and during the panel there will be an opportunity for
14 questions. So feel free, if you want to, in the
15 audience, have questions, be sure and fill out one of the
16 blue cards.

17 If you want to on the WebEx, type it in and
18 identify you want to speak, and we'll do our best prior
19 to the breaking of lunch to cover as many questions as
20 possible.

21 When we look at today's discussion, I just want to
22 cover a little bit about what we think Smart Grid is and
23 how Smart Grid in California may differ from Smart Grid
24 in other areas of the country. Smart Grid, my office is
25 heavily involved in the research and development efforts

1 around Smart Grid. I'll cover, briefly, that.

2 Tomorrow, we'll discuss in much more detail the
3 different projects and the status of them. Today, I'll
4 just give a brief overview to show how it fits into what
5 we're doing and help in some of the policy discussions.

6 Because, clearly, in some of the research we're
7 doing, we're doing research to help formulate policy and
8 help provide answers, so policymakers can understand the
9 value and impacts of different decisions.

10 I think today's discussion, where we don't have
11 a -- we weren't able to get a specific speaker from DOE
12 today because they're so busy with the Stimulus Package,
13 but we will talk throughout today and at different times
14 about the opportunity it brings, and particularly the
15 Smart Grid opportunity. So I'll give a brief overview of
16 those opportunities and what we're doing to pursue those.

17 And closing comments, before we go to the panel
18 discussion, will be just some general synopsis of how we,
19 from the research side, see Smart Grid impacting
20 California in the future.

21 Well, most people, when you look at the utility
22 system, it's classically a hardware system. And when we
23 talk about the information technology system it's
24 wireless, it's software, it's communications.

25 And what the Smart Grid is going to do for us in

1 the future is bring those two networks together into one
2 intercommunicating, interoperable network.

3 And so we see things that -- the ability to -- and
4 we'll talk a little later about, for example, from the
5 capability that the ISO has now, that they're expanding
6 their capability to look deeper into the grid to see
7 what's happening with.

8 With the advent of new meters, the ability of the
9 grid to tell the grid operators what's going on and to
10 tell the customer what opportunities there exist, and
11 help them understand better how their energy's used.

12 And, ultimately, our ability to use this data to
13 integrate more renewables, to integrate more distributor
14 resources, and to make the grid more reliable, more cost
15 effective, and more supportive of our future needs.

16 There are many, many definitions. I use this one,
17 just for today's purposes, to point out there are a
18 couple of commonalities that come up a lot in the
19 definition of Smart Grid.

20 It is the emergence of digital technology into the
21 grid. I think in most cases we're looking for saving
22 energy, reducing cost and increasing reliability. So we
23 really are looking at doing more with less in the future.

24 And also, I think in many cases a lot of both the
25 policies, as well as the world, itself, is looking, to

1 look for us to be able to address global warming in a
2 more cost effective and a better way, and be able to meet
3 some of those needs.

4 And also, energy independence, to allow us to
5 reduce our dependence on one source of energy and look at
6 alternative sources of energy.

7 So there are many different definitions. And I
8 think -- I will point out, again, for those that are
9 attending, that this is a two-day workshop to help us,
10 and our staff, to gather information, and so we can
11 provide recommendations to this panel, and others, in the
12 2009 IPER. And what will come out of this workshop will
13 be prepared in draft comments; it will be prepared for
14 review in the fall.

15 So we are looking to provide policy recommendations
16 to our 2009 Integrated Energy Policy Report.

17 So I'll remind everybody that there is an
18 opportunity, if you're not able to speak today, if you
19 have specific comments to provide those to the docket.
20 It's on the information that you have. And you can
21 provide those at any time. I think there's a deadline
22 for the initial comments that we're looking for and that
23 deadline is on the announcement.

24 COMMISSIONER BYRON: Mike? Mike? Mr. Gravely, if
25 I may interrupt for just a moment?

1 Unfortunately, it sounds as though these devices
2 may be interfering with the PA system. So I think we
3 should turn them all off --

4 MR. GRAVELY: Okay.

5 COMMISSIONER BYRON: So we can make sure that we
6 can -- everyone that's on the phone can hear us.

7 MR. GRAVELY: We have a background noise that seems
8 to be real bad.

9 COMMISSIONER BYRON: Some of the devices do seem to
10 interfere with some PA systems. Go ahead.

11 MR. GRAVELY: So I'll just - I'll just leave this
12 right here and go back to the other chart here.

13 You want to go ahead and go onto the questions, you
14 say? I'm sorry, your mike is not quite as loud as the
15 other ones.

16 COMMISSIONER BYRON: There it is. I'm a little
17 closer. No, you continue with your presentation, please.
18 It was the interference that we were getting from the
19 Blackberrys.

20 MR. GRAVELY: Okay, thank you. I thought you'd
21 mentioned someone had a schedule change. I'm sorry. So
22 we'll do this.

23 COMMISSIONER ROSENFELD: Mike, you should get a
24 little closer to the mike, also.

25 MR. GRAVELY: This seems to be the worst area here.

1 This area here has the worst acoustics, I guess, of all
2 the rooms.

3 COMMISSIONER BYRON: We need you closer to the
4 mike, too.

5 MR. GRAVELY: That's what they're saying here, so
6 I'll do that.

7 So in general, why Smart Grid? This is a quick
8 summary of the things we'll hear throughout the next two
9 days. Most of this is pretty straight forward.

10 The execution of these are some of the questions.
11 In other words, how do we obtain these benefits, how do
12 we measure these benefits?

13 We believe that the Smart Grid will provide us
14 technical opportunities to improve the environment, to
15 reduce emissions, to provide more efficiency options on
16 the grid, and to truly make the grid more green than it
17 is today, and in the future.

18 Lower costs, more efficient operations to be able
19 to use our current systems, that we're going to be in
20 more efficiently, to last longer if they're operating
21 properly, to look at new, low-cost options in the future,
22 and new technologies that will make the system operate
23 better.

24 But one of the challenges, always, is to operate
25 the system better, to reduce the losses that we have on

1 the current line and things like that.

2 This type of technology we have will give us
3 insights that we don't currently have, and to being able
4 to measure those. And then once you understand those,
5 then you can find ways to make them better.

6 Reliability is very important. For those of you
7 who remember the 2000-2001 time frame, with rolling
8 blackouts, and the impact it had on individuals and
9 businesses, and how important it is for viability for us.
10 And so the ability to shorten or to make the number of
11 outages less, and when we have an outage to be able to
12 make that outage shorter. And also, in some cases to be
13 able to predict or even make some decisions where those
14 outages go for the least amount of impact.

15 Those are types of technology we'll hear about
16 today and tomorrow, as we go through these discussions.

17 Ultimately, we've heard from the Panel, and
18 particularly from Kellie there, that the consumer is our
19 ultimate focus.

20 So we want the grid to not just be something for
21 the system, but for the users of the system. So we want
22 to find ways to allow consumers to meet their energy
23 needs and low cost, we want to give them options that
24 they can understand and use, and we want them to have the
25 ability to participate. For example, in dynamic rates,

1 and things like that, if they choose, so a lot of people
2 who desire to be part of the solution and, therefore,
3 they're willing to do a little extra, and we want to give
4 them the choices, but we don't want to make that so
5 complicated and difficult that they're not able to use it
6 effectively.

7 In California we have already made some decisions
8 that will impact our Smart Grid in the future pretty
9 substantially. And those were additional discussions we
10 have today.

11 These are the policies and have specific dates that
12 we look at. We'll talk a little later. We've been
13 looking, in our research area, at the Smart Grid 2020
14 because a lot of our policies will culminate or be
15 implemented by that time. So we want to see how we can
16 use the Smart Grid to help us meet some of those goals.

17 The greenhouse gas reduction goals, the efficiency,
18 the net zero energy homes and businesses. The expanded
19 use of demand response.

20 I'll talk briefly, a little later, about
21 California's energy profile and why demand response and
22 energy efficiency are so effective for us.

23 And also, the goal to go into renewables. As Mr.
24 Detmers mentioned earlier, for the ISO, 33 percent, and
25 they're obviously desirous to go even more, if possible.

1 That becomes a challenge when it comes to keeping that
2 grid reliable and operating properly with some of the
3 renewables, because not all renewables are as reliable as
4 the current generation system is.

5 So in addition to these clear policies that have
6 been established, we also have made some decisions in the
7 area of moving forward with infrastructure.

8 The utilities, the three large utilities in
9 California, the independent operator utilities, have all
10 received permission from the PUC. They're in the process
11 of installing new Smart Meters, both for electric and
12 natural gas, and we expect some 12,000 electric meters,
13 to a cost of roughly \$4 billion over the next four to
14 five years.

15 COMMISSIONER ROSENFELD: You mean 12 million.

16 MR. GRAVELY: The decision has been made that
17 implementation is in. So as we look at our Smart Grid,
18 we need to be sure that the Smart Grid of the future,
19 this is an integral part of the system that we use, that
20 we capsulize the features of those things.

21 There are capability, as we go on the road to
22 upgrade those, and some cases very simply. In other
23 cases, we may find that we make a decision based on the
24 capability of what we've installed, as opposed to some
25 meter that come out two years from now that's, you know,

1 faster, cheaper, but maybe not in the big picture of
2 things when you look at a long system of 12,000 meters.

3 COMMISSIONER ROSENFELD: Mr. Gravely? You said
4 12,000, you mean 12 million?

5 MR. GRAVELY: Twelve million, you're correct. I'm
6 sorry 12 million -- 12 million meters, that's correct, 12
7 million meters.

8 And so that once we start that infrastructure, and
9 so as we look at our definition of Smart Grid, the
10 capabilities we want to implement, the infrastructure we
11 want to put in place, both these policies and both these
12 infrastructure decisions will impact what California has.

13 And it could be different for a state that hasn't
14 made its decision to, what we'll call an industrial term,
15 a green field environment, where they have not made
16 decisions and they can do them later.

17 But, also, we can anticipate reaping the benefits
18 from these decisions much sooner by virtue of being on
19 the leading edge.

20 And also, some of these last two statements
21 provides us, we believe, a head-up on the DOE approach,
22 and some of the stimulus funding because we are, we
23 believe, ahead of most of the nation and we have the
24 ability to show the nation how to implement a Smart Grid.

25 In addition to those things, we have future energy

1 growth. Even though we're in tough economic times, it's
2 reasonable to assume California will continue through the
3 growth. We've had tough times in the past and we
4 continue to grow in California.

5 The energy use profile in California, in the summer
6 we have very high peaks and in the evening it goes away.
7 And so we don't have, like they have in Florida or Texas,
8 where you have high humidity and lots of places where, at
9 nighttime, it's still very hot.

10 So we have the ability to manage our energy, and
11 use things like demand response and energy storage. We
12 have the ability to implement things like renewables and
13 distributed generation much more effectively. And so
14 when we use this advanced communications and advanced
15 knowledge, we have a profile to allow us to use our
16 system, and so the managers of our system will be able to
17 get, maybe, a better utilization out of the energy we
18 have and make it more cost effective by virtue of doing
19 things that make sense for the California need of it.

20 Also, as we'll talk briefly today, and throughout
21 the Workshop, there is a huge amount of money being
22 inserted into the Smart Grid and to the whole grid
23 system, and that will have an impact.

24 What we decide to do, the demonstrations that are
25 done, the decisions that are made throughout the nation,

1 what we might have done in ten years will probably be
2 done in two or three years.

3 And so in addition to what's been happening with
4 our own State of California, the country is going to be
5 in accelerated mode of going into Smart Grid
6 implementation.

7 Just a quick review for those who aren't familiar
8 with some of the technology we're talking about, this
9 will just give you a quick overview.

10 That we do, in our office, look at the whole
11 system, from the transmission generation side, to the
12 distribution side, to the consumer, and we look at all
13 those elements, whether they be rooftop, PV, plug-in
14 hybrids. You'll hear a lot throughout the conference
15 about synchrophasers. This is a PMU, a phaser
16 measurement unit that's measuring the data. We'll talk a
17 little bit about that later today.

18 But it's easier to say that there is a lot of
19 opportunity, but sometimes too much opportunity is also a
20 challenge, so we have to prioritize what we do to the
21 best of the State.

22 If you're not familiar, I'm going to discuss just
23 briefly here, because there will be presentations
24 tomorrow on this, one of the areas in particular, one of
25 the areas in the DOE dissertations is synchrophasers.

1 Synchrophasers are simply a device that measures
2 electricity, that measures the current voltage 30 times a
3 second.

4 And we can we can have Jim Detmers give us this a
5 little later.

6 But basically ISO, today, they take all their
7 readings and they bounce off the grid. With this type of
8 technology they can do this in less than a second and, in
9 some cases, 20, 30 times a second, and that gives them
10 insight that they don't currently have.

11 So one, if there's a problem occurring they can see
12 it, and make response, and the problem can be resolved
13 without impact.

14 And two, later they can learn how things happened,
15 they can go back and understand how the system resolved
16 and they can do that.

17 The key element for us that's different in the
18 technology side, from this area, is the GPS timestamp.
19 When they had previous outages and previous blackouts,
20 when they went to measure things people were on different
21 clocks. So you didn't know what New York was doing, and
22 Texas was doing, and California was doing because the
23 clocks were a little bit off.

24 With these synchrophasers, they're all on the same
25 time. So when you look at how things happen and how

1 things cascade, this technology provides us the ability
2 to really understand how the grid operates, and that's
3 one of the technologies that will let us manage the grid
4 much more effectively in the future and do more with
5 less.

6 Energy storage, you'll hear about tomorrow and a
7 little bit this afternoon. Get this thing working right.

8 Okay. This is just a collage of the different
9 types of energy storage opportunities. We have storage
10 at the home level, the business level, at the grid level.
11 Our office has been doing quite a bit of research in this
12 area and the utility-connected grid is one of the major
13 areas that the DOE is looking to demonstrating as part of
14 the Smart Grid, so we'll see more about that.

15 These just gives you a collage of everything from
16 compressed air, on the upper right, and pumped hydro, to
17 flywheels, to batteries, to different -- this is an area,
18 there's a lot of emerging technologies, there's a lot of
19 opportunity and cost effectivity.

20 These systems are drastically improving over the
21 last decade, and so we envision energy storage in the
22 next decade being a major player.

23 And here, in California, when we can actually store
24 it with wind at night and use it during the day, there's
25 a huge opportunity for us to use this type of technology

1 to help us in the future.

2 Demand response is another area we talked about
3 that we're spending a considerable amount of time at the
4 Commission, in the research area, because in California
5 there's such a huge opportunity and such a huge value.

6 Our current -- we mentioned before about the
7 customer and working things. We see the value of
8 automating these systems; we see the value of
9 communications. We also see the value of customer
10 choice. And so on some of the previous communications
11 the customer choice piece and the customer control piece
12 wasn't really defined, when it was always there.

13 And so as we go forward the testing that we do on
14 these type of systems, we find that we can get five or
15 ten percent better response by automated demand response
16 than you do with manual, classical manual responses.

17 And so we see this as the wave of the future to
18 allow us to do it. The customers are very happy with it
19 when they do it. They have the ability to predetermine
20 what they want to do. They have the ability to go away
21 and let it happen or they have the ability to stop it at
22 the moment that it happens. So this is the wave of the
23 future.

24 And in California, we think we are actually leading
25 the country. As a matter of fact we've developed a

1 standard, an open standard for this area, and that
2 standard has been accepted by DOE as part of their
3 national standard that they're doing under the Smart Grid
4 Initiative.

5 Just a kind of summary chart to show you here.
6 This is, again, just a - all the utilities have similar
7 opportunity, but I wanted to show you we're all thinking
8 the same. And that is there is opportunity in the home
9 for renewables, there's opportunity for plug-in hybrids,
10 there's opportunity for Smart Systems, and the same thing
11 for businesses and buildings. So that we see lots of
12 opportunity.

13 It is a high-tech environment, so we do have to
14 take the time to be sure the customers and consumers know
15 what they're doing. But I think if you look at the world
16 today, and the group that's growing up in the internet
17 world, and the communications world of cell phones, and
18 things, I mean, and I hate to say it, in my generation,
19 those people have home phones that are landlines. I
20 suspect there will be a time, in the future, where the
21 cell phone is the mode of operating and people will have
22 multiple cell phones and no landline. And that's not too
23 far away.

24 And I've been in travel overseas and some of the
25 emerging countries are already there to do that, because

1 the capabilities are so good and the service is much
2 cheaper. So we have these capabilities to do that.

3 Just a quick summary here on some of the other
4 activity we're doing as part of the supporting of the
5 Integrated Energy Policy Report.

6 We do have a station that we've closed and we're
7 going to evaluation now, and that will help us to find
8 the Smart Grid of 2020. Our goal is to have that
9 research in parallel with the workshops and the results
10 that are happening with the PUC, so we can provide some
11 of the information to them.

12 We're also doing some ongoing research in the area
13 of Smart Grid demonstrations, under what we call a micro-
14 grid, where we can look at it from a small section of the
15 grid and demonstrate different technologies.

16 We're also looking at some white papers that will
17 be provided as part of the Integrated Energy Policy
18 Report. We envision these white papers, or they may be
19 called staff papers a little later. Anyway, we envision
20 them to be publicly posted and available on the website
21 for the IPER, and we envision the results of those being
22 part of the 2009 IPER.

23 We're looking at things like California's needs for
24 codes, and standards, and protocols. The integration of
25 renewables, what technologies can we work in the next ten

1 years to help us meet those aggressive renewable goals.

2 And also, energy storage, and trying to figure out
3 how best we can integrate energy storage in the future to
4 help us meet those.

5 And then, ultimately, as the PUC continues the
6 rulemaking that Commissioner Chong talked about, a lot of
7 this research, other research we have, we hope to feed
8 into that effort and future efforts so that they have, at
9 their fingertips, and at their knowledge, information
10 that's available. And then if questions come up, we may
11 be able to go out and resolve those.

12 But, ultimately, we want to be sure when they make
13 their decisions that they have the most current
14 information and the most accurate information available
15 to make those decisions.

16 The Economic Stimulus Package, just briefly, if
17 you're not familiar, there are two large areas for Smart
18 Grid. One is in the area of demonstrations. There are
19 615 million currently identified.

20 And the other one is in the area of Smart Grid
21 investment grants, there's 3.37 billion.

22 I'll share with you, we've made a couple of
23 comments to DOE and they're assessing those comments.
24 One is the current plan only allows a single project to
25 be in the range of 20 to 30 million dollars, depending on

1 the particular technology, and the mixture is a little
2 bit off.

3 So we've requested DOE maybe balance the mixture
4 out in these two areas to about 2 million each -- two
5 billion each, and they allow single projects to go,
6 maybe, up to 100, 200 million, so that we can have
7 multiple utilities do multiple projects together.

8 One of the key elements of Smart Grid is the
9 interoperability. So we're hoping that this fund is to
10 be able to demonstrate projects that will go across
11 utility lines and across customer lines, and build
12 something that's truly a grid of the future.

13 So the other two projects down here are basically a
14 grid infrastructure for both Bonneville and Western Area.
15 But we've seen, with six and a half billion dollars, we
16 anticipate some substantial growth in our transmission
17 capacity and our generation capacity, and so we envision
18 the grid of the future, in the shorter term, having much
19 more capability than it would have had without this
20 insertion of funds.

21 And last, and just a summary before we get into the
22 panel discussions, is how can Smart Grid help California?
23 This is also a question I will be posing to the panel in
24 general. What we talked about is the green grid
25 efficient, less emissions, and lower cost, higher

1 reliability.

2 The grid becomes a vehicle to put in new
3 technologies and new policies as we go forward.

4 Managing the data. One of the things we learn in
5 all of these systems is you have more information, more
6 information, and faster, and so sometimes that's a good
7 thing and sometimes it's a bad thing, because you have so
8 much data you don't know how to read through it. So some
9 of the efforts is how to use that data.

10 And, ultimately, we want better service for the
11 consumers; we want them to be happy with the system, the
12 reliability. Ultimately, if it works right they don't
13 think about it and they worry about trying to find ways
14 to save money.

15 And with that, I'll turn it over to the panel. And
16 are there any comments before we start, sir?

17 COMMISSIONER BYRON: Okay, thank you, Mr. Gravely.
18 Why don't you go ahead and moderate this panel.

19 MR. GRAVELY: Okay.

20 COMMISSIONER BYRON: We've got a lot of expertise
21 up here and a lot of notions about the direction we need
22 to take policy.

23 I think you have some questions you want to ask us?

24 MR. GRAVELY: Right.

25 COMMISSIONER BYRON: So Mike, if you don't mind

1 being in that capacity and take us through this, we've
2 got a little over an hour and be tough, ask the panel
3 some good, tough questions.

4 MR. GRAVELY: I'll be glad to. So I'll start off
5 with we have a couple of questions we want to ask and
6 then if we have some blue cards, we'll do that, and we'll
7 give an opportunity for the people in the room to ask
8 some questions, also, of the panel.

9 And the first question that we have today is to go
10 with the policy goals and energy goals. And that would
11 be, for the panel members, you all have different roles
12 in the policy of the State, and that would be how would
13 you envision or how do you envision Smart Grid helping us
14 enable the future policies we need in the State, or how
15 would you envision the policy goals that you see is
16 important for the State being enable by Smart Grid.

17 Anybody who wants to participate and answer?

18 COMMISSIONER BYRON: Well, I'll start and keep it
19 brief. I actually said this in my introduction, but I'll
20 repeat it, I feel very strongly that there are primarily
21 three policy goals that we're after, improved efficiency,
22 renewable integration, and the information to the
23 customer, but mainly giving control to the customer, and
24 allowing them to have the information they need for
25 control.

1 So those are the three principal policies that I'm
2 interested in.

3 MR. GRAVELY: Okay, Commissioner Chong?

4 COMMISSIONER CHONG: Yeah, I'll take a cut at it.
5 You know, we're operating under a lot of mandates over at
6 the PUC. We are working on climate change, under AB 32.
7 We're working on renewable portfolio standard.
8 Currently, the law's 20 percent and it looks like it's
9 going to 33 very soon. And we've got the California
10 Solar Initiative. We've got the Loading Order.

11 And I actually see Smart Grid being something that
12 can help us achieve all of these goals.

13 So, for example, the electric grid was built
14 originally to deliver power really one way, from the
15 power plants to the customers. And the power plants
16 tended to be, although not always, pretty far from the
17 customer.

18 So we are looking today at this new push towards
19 distributed energy, including renewables, and that will
20 move a lot of the generation either into the premises or
21 closer, into the load center.

22 So one area of interest to me is how do we
23 appropriately integrate all that new distributed energy.
24 It strikes me that that's going to cause the type of
25 upgrade that is really critical, but we've got to bring

1 that distributed energy in and help the operators
2 understand where those distributed resources are and how
3 it fits into the system.

4 The other area that I'm very interested in is how
5 we engage consumers into this problem of greenhouse gas
6 and how they react with energy.

7 And so one area that I've very interested in is to
8 send appropriate price signals to consumers, for their
9 energy. And so to that end, the PUC has been working on
10 establishing dynamic rate policies, and we're quite ahead
11 of the other states on this issue.

12 We've decoupled selling more energy with profits of
13 the utilities, so that they're fully engaged in energy
14 efficiency.

15 So we want to ultimately send a price signal to
16 consumers and then have the consumers respond to it.

17 Now, how does that make sense? If you look at, for
18 example, the concept of plug-in electric cars, if the
19 consumer comes home from work, plugs their car in at
20 home, I'm told by the utilities that this looks like a
21 small house on the grid when you plug that car in, and so
22 we would be creating essentially a new peak, maybe about
23 between 5:00 and 7:00 p.m. Right, Jim?

24 And I don't think my friend over at the ISO will be
25 very happy with me by creating a new peak between 5:00

1 and 7:00 p.m.

2 So the solution is that you need to send a price
3 signal to the car owner to say, when you plug it in, tell
4 it when you need the car to be charged, it might be 8:00
5 a.m. the next morning, and please charge my car when it's
6 cheapest, which will hopefully be after 9:00 p.m., the
7 middle of the night, when Jim's got more energy to juice
8 up the car.

9 So these are the types of things that we can
10 conceive in the future. I mean, that's not an immediate
11 thing, but gosh, darn it, those EVs are coming right on
12 the market starting the end of this year and next year,
13 and we really need to focus on what we need to do, in
14 terms of the utility side, to be ready to deal with those
15 plug-in cars.

16 So I was very pleased, I was at a conference with
17 your colleague, Commissioner Boyd, and we are looking at
18 getting money for charging infrastructure in places other
19 than the home.

20 And we're also looking, at the PUC this summer, at
21 how we prepare the grid for EVs. And we're going to look
22 at rates, tariffs, for example, that we have for EVs.
23 And we're going to be looking at, with advice from our
24 experts at the California ISO, how we manage that load,
25 hopefully, towards the middle of the night or anytime

1 when there isn't peak.

2 So those are just a couple of examples of the ways
3 that we see Smart Grid helping on our big goals, which
4 are pretty much the ones that Commissioner Byron
5 enumerated. Thanks.

6 COMMISSIONER ROSENFELD: All right, I'd like to
7 elaborate on what Commissioner Chong said a little bit.

8 Price. Commissioner Chong didn't say it, but the
9 pricing scheme which the PUC and the CEC have been
10 favoring is called critical peak pricing. And the idea
11 is that there will be about three prices.

12 Price one will be off-peak 90 percent of the time,
13 and that would be considerably less than the average
14 price; we think in terms of 10 cents a kilowatt hour, or
15 less. And that's when you would charge your hybrid, or
16 whatever storage you happen to have.

17 On summer afternoons we expect to be congested,
18 particularly on weekdays, and critical peak pricing
19 envisions that on summer afternoons, summer weekday
20 afternoons, all summer, there would be regular time-of-
21 use pricing, and I think something like 30 cents,
22 whatever the actual real price averages out.

23 And then, during the ten hottest days of the
24 summer, when this idea of a heat wave, or whatever, you
25 expect to have a real peak and you want to avoid that

1 peak, and you can usually tell they're coming ahead of
2 time and you can warn your customer that tomorrow's going
3 to be a critical peak day, and you really need to get
4 quite a few gigawatts of the system at that time, so
5 think like a dollar. That will get the customer's
6 attention.

7 And the customer, I want to mention two sets of
8 customers. There's the immediate customer who,
9 presumably, will set their thermostat, preprogram their
10 thermostat to response to these prices, use every weekday
11 afternoon. And that can be done in the home by people
12 preprogramming their thermostat to set itself up two or
13 four degrees.

14 The commercial building, they're a more successful
15 system in getting its program to -- it's interested and
16 decides, on the basis of price, to preprogram their
17 lights to be, thermostats to set up air havers to slow
18 them.

19 I say we need to lean the curve with advanced --
20 but, of course, there are emergencies. And in an
21 emergency, really, there should be a fourth price, which
22 is really very high. A bunch of things are going to
23 happen once they become -- but, nevertheless, it sounds
24 fine to be able to control thermostats and lighting, once
25 every ten years, as a sort of softening into emergency,

1 instead of having what I consider a very brittle system
2 of a rotate blackout.

3 There's the indirect customer, and that's the
4 architect/engineer, who designs a building. And they
5 advance the image of what the price is going to be five
6 or ten years ahead of time is extremely valuable.

7 Right now, if architects knew that there was going
8 to be a term-of-use pricing every summer afternoon, they
9 would design buildings quite differently. They would
10 design buildings with thermal storage, chemical thermal
11 storage, with millions of gallons of chilled water or
12 ice. And immediate thermal storage where you have more
13 contact between the thermal and the building, and the
14 occupant.

15 Not only do you have a huge use of thermal storage
16 built into buildings, but they're isolated from the
17 living spaces or the occupied spaces by carpets, and
18 tiles on the roof, and also some things which are good
19 acoustically, and there's a tradeoff and we don't design
20 buildings to take advantage of that. But we will as soon
21 as prices become certain.

22 We're always preaching about prices. To
23 distinguish between prices and what we call programs,
24 there are an awful lot of utility people who actually
25 think in terms of a program. Meaning, we will pay you

1 \$80 per month and in return for that, we will take over
2 control of your air conditioner, or your heat pump and
3 manage it for you.

4 Well, that's fine; I have absolutely no objection
5 to doing this. Every time I make a telephone call, I
6 know I have some sort of contract with the telephone
7 company and it's a do-know.

8 But in terms of managing my life I, personally,
9 would like to be able just to know what the price is,
10 preprogram my thermostat, not get involved in special
11 deals. I think these two things may be related, but
12 undoubtedly to think in terms of just programs, I do
13 think it's important that we have some stability that the
14 price be published, that they change every five years, or
15 every rate case, and it has to go through the system and
16 can work on our thermostats in our homes, and our
17 controls in our commercial buildings.

18 That's my embellishment. I hope, Commissioner
19 Chong, I think we agree on this.

20 MS. SMITH: I guess I'll add, just to expand maybe
21 on where I started. And a couple of examples of problems
22 that we have been facing continually in the energy world,
23 the Energy Committee, in the Legislature, do revolve
24 around renewables.

25 And so by example, where we all agree with this

1 broader goals of efficiency, renewables, and ratepayer
2 impacts, I mentioned the issue of net metering.

3 And following up on Commissioner Chong's comment
4 about this use of distributed generation, we are under
5 great pressure by mostly participants in net metering,
6 and advocates of solar, to pay people for the value of
7 the power they are putting out on the grid at two o'clock
8 in the afternoon.

9 Not only do they want us to pay them for excess
10 over a time frame, but they want us to pay them on time-
11 of-use rates. And our ability to try to address this
12 without getting immersed in the technicalities of the
13 difference between a bill you receive in the mail and the
14 amount and the cost that the utility pays for the power,
15 that the utility doesn't know the power's there, what
16 value does it really have? I mean, this is an issue
17 that's coming up to us day after day, after day.

18 And the amount of time we've spent on that, you
19 would probably be greatly frustrated by.

20 Clearly, Smart Grid, at the DG level, at the
21 distribution level would help us.

22 One of the other great problems that we're seeing
23 is the issue of large utility scale renewable generation
24 and how to manage that load, and where to locate that
25 load.

1 Currently, if generation is out of state, it
2 cannot be scheduled by the ISO from a renewable
3 generator.

4 So when the wind is blowing in Wyoming, many people
5 feel that we should buy that wind and bring it to
6 California because it's cheap.

7 I won't get into the other policy issues about
8 California jobs, and California emissions et cetera, but
9 just strictly looking at that little issue, we don't have
10 the ability to bring that wind in on a real-time basis.

11 So practically speaking what is happening is the
12 wind is switched out. Somebody else gets the green
13 electron at the moment, and then a third party intervenes
14 and schedules firmed and shaped power, which is generally
15 system power if it's coming in from the east, or probably
16 hydro if it's coming in from the north, to be delivered
17 to California.

18 In practical terms, I realize technically an
19 electron is an electron, and those engineering issues,
20 but from a ratepayer, consumer stand point, there are
21 people out there that think if they are paying for green
22 power, they want it to come in the time that it's being
23 generated and in the form it's being generated. And the
24 current grid does not allow us to do that, so another
25 issue.

1 Something that hasn't come up, and this will be my
2 naiveté, and maybe Jim can follow up, is one of our
3 greatest frustration in dealing with renewables has been
4 the relationship of the ISO-controlled territory and the
5 muni-controlled territory.

6 We don't, in the Legislature, know for a fact, but
7 we suspect, that there's a great amount of unused
8 capacity on some muni lines. And we suspect that
9 ratepayers are not being efficiently served by a
10 transmission grid in this State. We suspect duplication.

11 For those of you in Northern California, we've seen
12 a lot of press recently about a tank line going through
13 the Central Valley, and from the Lassen area and others
14 to go down to the Bay Area.

15 Well, I've also understood that PG&E wants to build
16 a line probably pretty much along the same general area,
17 going all the way up to British Columbia.

18 And we wonder, you know, we also understand the
19 politics of ISO versus muni and local control, and when
20 you have a Legislature whose leaders in both Houses
21 represent municipal utilities, and whose policy committee
22 chairs in both houses represent municipal utilities, we
23 are probably going to continue to pay a great deal of
24 attention to the need for local control.

25 But my question is will a Smart Grid help us bridge

1 some of these issues, and while we're still maintaining
2 local control that each party, if you will, will still be
3 able to maintain their own transmission systems, but
4 operate in a more cooperative, real-time fashion to make
5 sure that on behalf of ratepayers that we're really using
6 those transmission systems in the most efficient manner
7 possible.

8 I still don't have an answer to the muni/ISO issue,
9 so if anybody has a good one, we're always willing to
10 listen.

11 MR. DETMERS: Well, we need to talk. All right,
12 we'll try to get this done.

13 Wow. Wow, all the comments that I've heard all the
14 way down the panel here, where do we start?

15 I want to take us back. I've heard about
16 renewables, I'm going to pass on the transmission issue
17 right off the back. But as far as -

18 COMMISSIONER BYRON: Jim, you need to get real
19 close to the mike.

20 MR. DETMERS: I got to get even closer. Okay,
21 how's that, can you guys hear me fine?

22 I think one of the things that we really have to
23 get our hands around here, to start this conversation off
24 right, is the fact that in order to integrate renewables,
25 everyone must understand they are, for the most part,

1 generating at times, and producing at times, they're
2 great energy sources, and they're coming from very clean,
3 very reasonable places, but solar and wind, their
4 variability is, for the most part, generation off-peak
5 for a large portion solar.

6 And you're going to question, solar, isn't that on-
7 peak? Well, solar actually comes on very early in the
8 morning, depending on how east you are, how far east you
9 are on our overall system.

10 If you're in Arizona, Arizona is about an hour
11 ahead of us or even two hours ahead of us, as the sun
12 comes up, and our load is not coming up at that very same
13 time.

14 Wind is an inverted curve, actually, of its actual
15 production. Its maximum production is this time of the
16 year, in the springtime, and it's typically off-peak.

17 So when we talk about need for storage or we talk
18 about the need for demand response, both of those two
19 things are definitely needed in large quantities, as
20 we've already undertaken initiatives to get us to 20
21 percent. Contracts are being initiated, and projects are
22 being developed, and to bring on the renewables.

23 What we don't have yet specified is how much demand
24 response is required to be able to effectively integrate
25 all of the renewables that are coming online.

1 And when I talk about demand response,
2 Commissioner Rosenfeld, you're absolutely right, I think
3 critical peak pricing and real-time pricing, those types
4 of things are definitely required. But we also need it,
5 and we need large volumes of that, of customers to be
6 responsive in that area.

7 We also need controllability 7 by 24, and I'm not
8 talking about shutting customers off 7 by 24.

9 I'm talking about having a customer willing and
10 able to offer its product of demand response to the
11 market. But we're talking about gigawatts of demand
12 response that's 7 by 24. Not just an additional one or
13 two, or not just a kilowatt. We actually need probably
14 things that I don't have the accurate figures for, just
15 to write down that we're going to move to this.

16 But I think we really have to find out how much
17 demand response is needed to effectively integrate the 33
18 percent. I mean, we really have to come down to some
19 actual numbers on that. Might be something on the
20 research side, might be something in the work that we're
21 already doing at the ISO to be able to integrate the 20
22 percent that can help us out and determine how much that
23 we need.

24 Because once we have those figures, or general
25 figures that we're going to need, then things along the

1 lines of either a Legislature, or at the Commission, the
2 PUC, or in other places, we need to move that forward.
3 And these numbers are not going to be small numbers by
4 any means.

5 Because as we bring on, say, 8,000 megawatts, or
6 8,000 gigawatts of additional wind onto the system here,
7 in the next couple of years, we will probably need at
8 least a gigawatt of demand response or a gigawatt of
9 dispatchable generation, and/or something else to be able
10 to effectively generate that wind onto the system.

11 And so that's a choice that needs to be made that
12 is not yet specified. And it's not yet specified either
13 by the ISO or the utilities, or those that need to
14 determine how much of this other dispatchable resource
15 needs to be tied to the system.

16 We also need a certain amount of storage capability
17 for the off-peak conditions, for the early morning
18 conditions and the off-peak conditions.

19 Early morning, everyone wakes up very slow, as it
20 looks like it does on our demand curve that you can see
21 on the ISO's website. In those off-peak or early morning
22 hours, even if you take a look at our website today, and
23 we're lucky today because we now have our new markets
24 running, and you can see what those prices are.

25 You'll, on some occasions, see negative prices on

1 those off-peak hours. And those negative prices, we
2 need to all understand, negative prices means that we're
3 paying to have somebody eliminate the production of the
4 resource.

5 So that, in my book, is typically referred to as a
6 disposal cost of the power that's being generated at the
7 time. That is the worst in efficiency you can possibly
8 get to.

9 We need to know where those places are in the
10 system. And today we know, with our new market design
11 out there running, we know where those hot spots are for
12 peak conditions. We also know where the excesses are in
13 the off-peak conditions or no-demand conditions.

14 All of that information is now available. But we
15 really need to move forward with specifying what is the
16 additional capacity to respond needed, either via
17 generation, or I would prefer, more likely, to go after
18 demand response, fully capable demand response resources,
19 and have that come into the system.

20 Because the demand response is also going to incent
21 the storage capability as well.

22 So I can talk for days, but I'd rather not. And
23 I'll turn it back to you, Mr. Gravely.

24 MR. GRAVELY: Okay, thank you very much.

25 I think we'll do one more question and then we'll

1 open it up. I've got a few questions here from the
2 panel.

3 But you brought up the market redesigned technology
4 upgrade, that's recently completed, Jim Detmers did. And
5 about a month ago, over a month ago, we were able to
6 transition to a capability that's been desired for a long
7 time.

8 And so I guess for Jim Detmers, I'd ask the
9 capability, and for the rest of the panel, what you're
10 expecting?

11 So as you implement this new capability and Smart
12 Grid comes on, what does the two, together, give us that
13 we did not have before, or what opportunities do we have
14 to use the new market capabilities with Smart Grid, to
15 give California new capabilities in the future.

16 COMMISSIONER ROSENFELD: Could I make one comment
17 about the previous question?

18 MR. GRAVELY: Yes, sir.

19 COMMISSIONER ROSENFELD: And it has a little bit to
20 do with Detmers' comments.

21 In your story about storage, you showed, of course,
22 parking hybrids and electric vehicles. And again, I just
23 want to use Commissioner Chong's analogy, you can think
24 of the cause being a small house. So it's interested in
25 charging at a rate of like one kilowatt, or discharging

1 at the rate of one kilowatt in the afternoon, where it's
2 needed.

3 We're pretty soon entering the demand response era,
4 where we're going to have 12 million houses, real houses,
5 which can adjust their thermostats, or in commercial
6 buildings, under the 12 million equivalent, who can dim
7 lights and whatever.

8 And thermostats, using typical houses, using three
9 kilowatts, and that's disposable at the one kilowatt
10 variation, easily. So that's equivalent to 12 million,
11 rather than hundreds, or as if the whole California fleet
12 where there as a plug-in.

13 So I assert that we ought to get started by using
14 the huge variable of discretionary loads that are out
15 there, a long time before we're going to have 12 million
16 plug-in hybrids or 12 million electric vehicles.

17 In the case of commercial buildings, just a number
18 for Jim, I think there are like, oh, three or four
19 gigawatts of lighting in California. Now, lighting can
20 go up, up or down plus or minus ten percent and you don't
21 even notice. So that's a huge presumed responsive
22 available to us if we're smart enough to get the
23 architects and the equipment to do it.

24 But that was just a continuation of your last
25 question. Now, back to you, Mike.

1 MR. GRAVELY: Okay. Well, I would agree. The
2 research, we're showing, of course, the demand response
3 in California is a huge opportunity. I think the plug-in
4 hybrids is, and probably won't go as fast, but I think
5 the attention to -- and with the Stimulus putting on
6 another million vehicles on the road, we need to look at
7 both. But I think the priority and the implementation
8 schedules would be slightly different. But I think both
9 of them are key factors.

10 But I think, as research indicates and what we're
11 doing with the DOE, is that the demand response in
12 California, we're probably more ready to implement demand
13 response faster, than we are to start using hybrids as
14 part of a grid asset, for example.

15 So, anyway, I'll back to give -

16 COMMISSIONER ROSENFELD: Excuse me, Mike.

17 MR. GRAVELY: Sure.

18 COMMISSIONER ROSENFELD: So will some - the
19 Stimulus money help in bringing down the cost of
20 communicating thermostats, or communicating pool pumps,
21 or in communicating dryers, is something we should pay
22 with right now, easily. And we can't pay for the
23 hybrids, yet. I think they're, I don't know, about '10.

24 MR. GRAVELY: Yeah, I don't know that it's -- it's
25 identified in the Smart Grid area. I'm not sure it's as

1 well identified in the efficiency area and other areas
2 as opportunity.

3 So just to give you a chance to give us a
4 quick -- your assessment of the market redesign, how it's
5 going, and then opportunities. And I think, for the
6 panel, given that new capability, what do we see that
7 Smart Grid could bring to California, that we've been
8 waiting for.

9 MR. DETMERS: Yeah, thank you, Mike. If you're not
10 aware -

11 COMMISSIONER BYRON: Jim, you need to get the mike
12 in front of you.

13 MR. DETMERS: Here we go. I don't know what you
14 want me to do with this. I don't know, that's not
15 comfortable down there.

16 If you're not familiar with the ISO and what it's
17 done here in the last month, and it actually took us
18 several years to actually accomplish it, but we actually
19 implemented, April 1st, new markets which actually price
20 3,000 different points on the overall power system
21 throughout California.

22 This was a modal pricing scheme that we put into
23 place, as well as an energy market, and also other items
24 replacing our technology at the ISO, which had originally
25 been installed all the way back in 1997, that have been

1 in operation for quite some time.

2 Those original markets, if I take you back at that
3 point, basically only price the use of the transmission
4 grid in Northern California and Southern California, two
5 basic prices.

6 And that was the granularity that we were able to
7 see over about the past 11 years.

8 What has just occurred and it's available up on the
9 ISO's website today, is real-time pricing, as well as day
10 ahead pricing of the overall power system.

11 So this is very important information for us
12 especially on the demand response side, to get customers
13 active, to be able to understand what's happening on the
14 power system price-wise, or what is available to them,
15 and their ability to offer products back to the ISO, not
16 programs, but products back to the ISO, is very much
17 available today.

18 We have initiated steps to actually provide
19 opportunities for what we refer to as proxy resources,
20 today, for demand response capable aggregated providers
21 that can come to the ISO, and they're not coming to the
22 ISO in terms of kilowatts or watts. They're coming to
23 the ISO in terms of megawatts per hour, that can be made
24 available by hour, and can be offered into the ISO.

25 The ISO has set up the systems to be able to enable

1 this to occur. And I think MRTU has been referred in
2 the past, or market redesign and technology upgrade.

3 What we refer to today is the new markets we have
4 in place are very much available, not only to new
5 resources of generators, as well as to be able to
6 determine what the impact is of the renewable fleet that
7 is currently under transformation, but also to get the
8 other resources necessary so that we can balance the
9 system.

10 The ISO is required, by North American Electric
11 Reliability Council, to balance, at all demands, supply
12 and demand on the system. We have to do that, given if
13 it's a 30-thousand megawatt day, or a 30-gigawatt day,
14 upwards of 40 or 50 thousand gigawatts. We have to
15 balance that system and keep it reliable, and kept the
16 flows on the system within the capabilities of the system
17 every ten minutes, every 20 minutes, if something should
18 happen. But we have to do that on a continuous basis.

19 We, in order to be effective at what we do, need
20 the resources to be able to respond. Demand response has
21 the capability of responding actually faster than most
22 generating resources, if we set it up that way. And it's
23 a more dependable supply, reliable supply, but we have to
24 set that up and get that capability going now that we
25 have the capability of actually pricing the whole system,

1 at every point on the system.

2 So I encourage all of you to take a few minutes.
3 Don't do it all at once, but all of you can - you can, if
4 you'd like, but take some time, when you get back to your
5 offices, and pull up the information on what we call
6 Oasis, which is one of the click points on the ISO,
7 caiso.com website. Pull that up and you'll see at the
8 bottom of the screen pricing information, that's pricing
9 the real-time information of what's happening out on the
10 system.

11 And you can also pull down the individual screen,
12 so you can see individual points throughout California,
13 both in Northern California, the San Francisco Bay Area,
14 San Diego, L.A., and other places.

15 But it gives you the information that you can then
16 see, that customers, if they had that, could be able to
17 respond if something is happening. On a normal day, on
18 normal things happening, you see average prices running
19 to 20 to 30 dollars per megawatt hour. That's probably
20 not what demand response customers are looking for.

21 What we need to start talking about is the ISO also
22 has other resources that we hold online and remain online
23 to be capable of responding, and that capacity to respond
24 is an equivalent of what a generator costs.

25 And to go back to I think both Commissioners down

1 here, from the Energy Commission mentioned a few minutes
2 ago, as we started, that capability to respond is quite
3 expensive.

4 We also need, just for the summer peak conditions,
5 about 20 gigawatts. And I don't know whether it's
6 gigawatts or gigawatts, but I'll just go with the
7 gigawatts.

8 COMMISSIONER ROSENFELD: I say gigawatts.

9 MR. DETMERS: Okay, you say gigawatts, I'll say
10 gigawatts.

11 But that 20 gigawatts in capability that we
12 currently have in generating resources, that I would love
13 to have an opportunity for demand response to displace
14 all of that, if they can. I think that could be done
15 much cheaper than what the generating fleets to today,
16 and what we pay in that forum.

17 But 96 percent of all the time out of the year most
18 of that gigawatts, or 20,000 megawatts, sits idle until
19 we get to the summer peaking conditions in Q-3. That is
20 sort of an unbelievable picture when you look at it from
21 any other stand point.

22 If I was a beach front property and I had to build
23 my condos and my hotels to be able to handle just summer
24 peaking conditions, when all the customers showed up, I
25 wouldn't be in business for very long, but that is the

1 system we now have. That is what has to be transformed
2 into something else, where customers have an opportunity,
3 instead of paying for that capacity to be there all
4 summer, we've got to come up for a new solution.

5 COMMISSIONER BYRON: Congratulations to the ISO for
6 getting MRTU underway. It took a long time -

7 (Applause.)

8 COMMISSIONER BYRON: -- and I understand it's going
9 very well, with maybe a few little glitches they're not
10 talking about, but they'll get it figured out and we'll
11 never know.

12 But, really, to me, the Market Redesign Technology
13 Upgrade means pricing is now transparent. It's like the
14 banking system is no longer invisible. We know where the
15 congestion will be, and where there's more interest to
16 see far. So I think we give it a little time.

17 But we will see signals, price signals that will
18 influence where generation's going to be built, both
19 large and small. Because it doesn't take much generation
20 in some places to really reduce prices.

21 And we'll figure out the real costs of power in
22 various parts of the State.

23 Now, it took a long time -- remember the meetings
24 just held up every month, how much electrons you used,
25 and we called those kilowatt hours and we got a bill. It

1 took us a long time to get to time-of-use pricing and
2 understand all the electrons are not going local. But
3 they didn't get to every place in the State equally,
4 either.

5 And I think we're going to see locational pricing
6 lead to changes in tariffs, potentially, as well.

7 So I'm very excited about this aspect of MRTU. I
8 know it doesn't -- at least I heard it doesn't review,
9 but those are the two things, for generation and to
10 customers in prices I think are going to be very
11 advantageous, and it's going to be up to the public - I'm
12 sorry, yes, the Public Utility Commission to probably
13 figure out how to use those prices to reduce costs to
14 consumers.

15 COMMISSIONER ROSENFELD: Yeah.

16 MR. DETMERS: We'll be glad to help, Commissioner.

17 COMMISSIONER CHONG: Yes, I wanted to pick up where
18 Jim left off which is, okay, now we've got this great
19 pricing information for the first time, what do we do
20 with it?

21 So one way to do it is we've put in these expensive
22 automated metering infrastructure, \$4 billion is what
23 Gravely's Power Point said for AMI, which will be in by
24 2012. So how do we put those Smart Meters to use to help
25 Jim with his problem?

1 So two things that we're working on at the PUC
2 involves setting up dynamic pricing. One is the critical
3 peak pricing scheme that we've already described. The
4 second is just, generically, real-time pricing. In other
5 words, let's have a rate that's linked to the actual
6 wholesale price, which Jim can now tell me with great
7 specificity, apparently very often, too. So thank you
8 for that.

9 So what is the PUC going to do with it? Well, what
10 we've been doing is we would like to push our utilities
11 to offer dynamic pricing to their consumers.

12 The PUC is currently considering a proposal for
13 PG&E to implement default critical peak pricing for their
14 very large commercial and industrial consumers, and these
15 are going to go into effect 2010, that's just next year.

16 And we also have, in front of us, rates from PG&E
17 for their small and medium commercial and industrial
18 consumers that will go into effect 2011.

19 And then, pretty soon, we will be looking at some
20 optional real-time pricing rates for all customers, that
21 we hope will be available in 2011.

22 So in other words, we're going to take those actual
23 price signals and then start sending the signals to
24 customers of PG&E, for example, and we will then be able
25 to get some reduction in a peak use from large, medium,

1 and small consumers during peak hours.

2 And this should help Jim's problem of maintaining
3 all those expensive resources, when we could step down
4 the demand.

5 And I'm saying this with Kellie here, because there
6 are some bills in front of the Legislature that would
7 discourage dynamic pricing, and all the work that we've
8 been doing at the PUC at dynamic pricing. And I want to
9 point out that this would actually save consumers money
10 by not having to have all these stand-by resources, when
11 we could really step it down by sending some price
12 signals.

13 MS. SMITH: Having not seen all of the several
14 hundred bills that are going through the process, yet, I
15 am going to surmise that one of the issues you mention is
16 the -- whether it's an opt-in or opt-out pricing
17 structure.

18 This goes back to my comment where I started and I
19 mentioned the thermostat issue, the blow-back from the
20 thermostats a year or two ago. We're going to experience
21 the same thing on dynamic pricing.

22 Most Legislators love it in theory. In practice,
23 it will be a different experience and we need to prepare
24 for that.

25 And the other thing about the practice of it is,

1 it's going to have a -- if you -- dependant upon the
2 degree to which it is implemented, it has a great
3 societal impact.

4 The reason we have peak is because our workdays,
5 our schooldays, our society runs on a certain schedule.
6 And to the degree you push business and other practices
7 off that peak in order to save money; you are also having
8 a significant impact on society and the way it operates.
9 The way we go to school, the way we visit our kids'
10 schools, how we pick up our kids from school, whether
11 we're home at night or whether we're working because
12 electric rates are lower.

13 And so these are some of the things that the
14 Legislature will probably get the blow-back on before
15 others do. And I think that that's one of the reasons
16 that you're starting to see elements of this in
17 legislation is because they're starting to think about,
18 wow, wait a minute, yeah, in practice it makes sense, or
19 in theory it makes sense, but how do we really want our
20 consumers to use it and how much control do our consumers
21 get over when they use it?

22 And if you price something so high that a business
23 has no choice but to move its operations to the middle of
24 the night is that really what we want to see happen?

25 And I think, especially in this economy, we don't

1 know how long this is going to last and so anything that
2 has that fiscal impact on rates is going to be viewed
3 very cautiously.

4 COMMISSIONER ROSENFELD: Can I -

5 MR. GRAVELY: Sure.

6 COMMISSIONER ROSENFELD: Can I try to suggest a few
7 buzz words, Kellie, which will make it a little more
8 acceptable. No one, that I know of, is proposing
9 mandatory time-of-use rates.

10 The buzz word, which Commissioner Chong and I have
11 been using, is default opt-out. What that means is the
12 furthest we will go is to say once you've got your new
13 meter, and you are programmed within the standard, your
14 auto-demand response system, in a small business, then
15 you go on automatically to the rates -- the rates that we
16 are talking about.

17 That all you have to do is pick up the phone and
18 say I want out, and you will be out.

19 Moreover, we plan to give you lots of information
20 about whether or not you're really out.

21 The thought that the PUC and the CEC have had about
22 the rates, in the first place, should be that if you
23 don't respond at all, you will be whole; your bill would
24 be the same like if you didn't respond to time-of-use
25 rates. If you do response, you would save money. There

1 is money to be saved.

2 But an individual customer, of course, doesn't know
3 what he's doing compared with going back to flat rates.

4 So we're proposing that their bill -- that is, if
5 you go into default at that rates, you get your bill at
6 the end of the month, but you also get what your bill
7 would be if you were on whatever you want, flat rates.

8 And you could look at those for a month or so and
9 decide, gee, I'm responding, I'm well ahead, I want to
10 stay where I am or, gee, flat rates will be better for
11 me, I want to pick up the phone and go onto flat rates.

12 But I wanted to distinguish between those. So I'm
13 repeating, in summary, there's a big difference between
14 default opt-out and mandatory, for goodness sake.

15 I'm sorry, I'm looking at my colleagues and not
16 speaking into the mike.

17 There's a big difference between -- just the thing
18 is about mandatory, it would be terrible, nobody ever
19 proposed it, even for the thermostats. I realize that
20 there was a bogus view, a reaction, but it was not
21 because we talked about mandatory rates. Thank you.

22 COMMISSIONER CHONG: I want to give a few examples,
23 in response to Kellie.

24 So, for example, let's look at pumping of water in
25 California, we use an exorbitant amount of electricity to

1 pump water. This is something that could easily be
2 shifted to night.

3 You know, it doesn't matter if it's pumped in the
4 day or pumped in the night; you just need it pumped,
5 right?

6 So that's an area that we could shift, easily, a
7 task that takes a lot of electricity to cheaper off-peak
8 hours.

9 Okay, let's take a consumer. I can easily decide
10 to do my wash at night or weekends, instead of during
11 peak hours, if I know that it's going to save me a lot of
12 money to do that.

13 So to me, I always think of cell phone usage in the
14 early years, where there was peak and off-peak, and
15 everybody learned that you call your mom, in Iowa, nights
16 and weekends, when it was cheap, instead of during
17 weekday work hours.

18 And consumers understand that, they get it. And so
19 there are some things you can't shift, but there are some
20 things you can.

21 And so all we're asking is that for the things that
22 consumers can shift, please do, you'll save money.
23 You're going to like that part.

24 But if you can't, say you have a medical condition
25 and you need to have an oxygen tank on all the time, of

1 course you can't shift that off. I mean, hello, I know
2 that. So those people will have the option to pick
3 something that suits their lifestyle or their medical
4 needs.

5 And so, you know, we are cognizant of what the
6 consumers are saying. You know, we read the blogs, too,
7 and we get it.

8 But there is so much we could do, with really not
9 that much effort, to help Jim with his problem, that we
10 really need to do, and I think people want to do it,
11 given the greenhouse gas concerns, given the price of
12 energy. You know, they want to try to help save money
13 for themselves.

14 Well, in fact, if I can even add to that, I'm
15 reminded that residential customers are only about a
16 third of the users of electricity in this State. A lot
17 of electricity is used by the commercial and industrial
18 customers.

19 We got very excited back in 1996, when AB 1890
20 passed. There was a little thing that was in there, that
21 a lot of folks forgot, and that is that the meter came
22 under the control of customers.

23 If I could, just for a moment, sidebar, I went to
24 work for a large software company in 1997, and looking
25 into the customer side of the meter, realized how little

1 information I had and how little control I had.

2 So taking advantage of this, what if I could - what
3 if I could design a metering system for my one-and-a-
4 half-million square foot campus, that was accurate, that
5 was real-time, that I could monitor from my computer desk
6 via the intranet, the usage in each of my facilities,
7 that I could even monitor at the substation, the power
8 quality that I was getting, so that if there were voltage
9 sags or outages, I could determine whether or not it was
10 me or my utility that were causing that.

11 What if I could have everything in volume, such
12 that I could be notified immediately if I had a problem
13 with switches or transformers, and I could tie this into
14 my energy management system so that I could control
15 unique decisions about my school and save money. Because
16 every dollar that's saved in business is worth two
17 dollars worth of revenue.

18 Well, it turns out that such a system didn't exist,
19 so we provided an RFP, we started to cobble one together,
20 and we designed one that had exactly those kind of
21 capabilities, in 1997.

22 So the Smart Grid is not new from the customer's
23 perspective. The customer needs information, that's the
24 beginning of control. That's when customers can better
25 begin to make to decisions. We're not talking about

1 forcing customers to do anything.

2 In fact, the key nut here to crack is getting the
3 information into the hands of customers. The issue that
4 we should be talking about and, hopefully, we will later
5 on today, is how do we get that information to many, such
6 that they can get access to it on a real-time basis.

7 And that nut, if you will, is very much controlled
8 by the utilities, it's information that they retain and
9 hold.

10 Is the Smart Meter telling us where outages are and
11 reading the meter? Well, that serves the utility's need.

12 But the customer needs the information with the
13 Googles, and the IBMs, and forgive me if I leave out any
14 companies, to develop software information around that
15 information that customers will utilize.

16 The best example, probably, is the telephone. You
17 know, I still have an old dial phone in my shop, just in
18 case the power goes out, heaven forbid.

19 But it also, it reminds me that that's what we used
20 to have. It said Western Bell on it, and it was one-
21 size-fits-all. The big feature was you could pay a
22 little more for a Princess phone.

23 If you all remember that, there was no innovation
24 of technology around that. But as soon as that was made,
25 as soon as that was opened up, it was just it.

1 One other thing is Commissioner Chong, former
2 Commissioner for the Federal Communications Commission,
3 one of the foremost experts in information technology is
4 on the Public Utilities Commission.

5 Mr. Rosenfeld is Mr. Energy Efficiency. These
6 policymakers understand these issues.

7 But from the customer's perspective, it's all about
8 information and control. Let customer's have the
9 information so they can make the decisions.

10 MR. GRAVELY: Very good. Okay, we have a couple
11 questions from the audience here; I'm going to try to get
12 those in before the panel has to break.

13 And a couple of WebEx customers, I'll review one of
14 them as the individual walks up.

15 Is Stacey here, Stacey, it looks like Reineccius?

16 Okay, so you have several questions. If you could
17 kind of like get those down to one consolidated question
18 for the panel, we'll share the opportunity, if you would.

19 I got a comment on the WebEx about the white
20 papers. Just to update, tomorrow's presentations will
21 include updates on the progress of the white papers. My
22 information is on the website.

23 Also, tomorrow you'll hear from Pedro Gomez, who is
24 the technical team leader for this research.

25 So either one of us can provide the details, but

1 for those who are interested, we will be giving an
2 interim update tomorrow, by the authors of those white
3 papers.

4 Go ahead, Stacey, if you would, your question.

5 MR. REINECCIUS: Well, a number of the issues -

6 MR. GRAVELY: Can you identify yourself, first, for
7 the record?

8 MR. REINECCIUS: Stacey Reineccius. I am Chairman
9 and Founder of Powergetics, Incorporated.

10 We are developing a smart storage system,
11 distributed grid connected storage system that goes on
12 the customer side of the meter, requires no meter change-
13 out. But we're very much looking at how to accelerate
14 the deployment of this, how to integrate it and be a good
15 citizen on the power grid.

16 Our customer types are people ranging from folks,
17 like McDonald's, or other large chain stores that have
18 very high and very spiky types of power use.

19 MR. GRAVELY: Can everyone hear Stacey? You need
20 to speak -- it's a difficult system and - there you go.

21 MR. REINECCIUS: Got to bend down a little bit
22 here.

23 The key question that we've been looking at, in
24 terms of the regulatory, and some of the incentive
25 programs that exist today, for example, the SGIP program,

1 some of the things going on with access to information,
2 as you just mentioned, are really a thicket where it's
3 halfway there.

4 And my key question would be can we get
5 applications, such as stand-alone storage, incented
6 within the SGIP? This would allow us to supplement any
7 type of renewable, as well as applications where
8 renewables don't fit.

9 And when these systems are deployed in sufficient
10 numbers, we start to become a system that fit in with
11 demand response capabilities and it does not affect the
12 quality of life, or the societal behavior, which
13 negatively impacts the economy.

14 And so I would really encourage the members of the
15 panel to really consider including stand-alone storage
16 applications, distributed grid-connected storage in with
17 policies that you're looking at.

18 And, of course, we're happy to share our own
19 research and our analysis on that, with anybody who's
20 interested.

21 MR. GRAVELY: Go ahead.

22 MS. SMITH: I would just briefly comment.
23 Technically, right now, I don't think the PUC could
24 include storage in the S Chip program. Maybe, if you --
25 depending on your interpretation of the law, because the

1 Legislature's gotten involved too many times and
2 legislated the technologies that are in the program.

3 There is a bill going through this year, SB 412, by
4 Senator Chris Kehoe, from San Diego, that would allow the
5 S Chip program to continue and allow the PUC to determine
6 the appropriate technologies, rather than where it is
7 just currently limited to just wind and fuel cells. That
8 may help.

9 I also think, though, at least on the legislative
10 side, there's been a little resistance. We all are in
11 love with storage as it relates to renewables. We want
12 to see it, there's not enough we can do for it.
13 Especially, for instance, if it would apply to a CSI
14 application, and really make that rooftop solar of value,
15 so that that customer isn't turning around and pulling
16 all their electricity that they really need from, you
17 know, seven o'clock at night to seven o'clock in the
18 morning, so they could really get value from it.

19 Our impression is that there's just not a lot out
20 there right now that is commercially viable and
21 affordable.

22 MR. REINECCIUS: That, along with the electric
23 vehicles, has changed dramatically on the battery side.
24 I can say we're having a good pool of engineers working
25 on this right now. Our products will be shipping early

1 next year, for exactly this kind of thing.

2 And our analysis shows anywhere between about a 34
3 percent and 45 percent increase in the energy value for a
4 customer with a solar electric system, and up to 87 to 95
5 percent increase in value for a wind system. And
6 significant value just in stand-alone applications,
7 whether neither wind, nor solar can be applied.

8 COMMISSIONER BYRON: It's a good point. We haven't
9 quite figured out storage.

10 Ms. Smith, just to let you know, you know this, but
11 the PUC and the industrial facilities aren't going to
12 corner the market on innovation. There's a municipal
13 program that puts forward 96 megawatts of thermal storage
14 in customer's homes that would replace having to build
15 another gas-fired peaking power plant, because it's
16 cheaper.

17 So we have to figure out, from a rate structure
18 point of view, how to do this at the PUC. But that's not
19 stopping some municipal utilities from going forward with
20 this.

21 MS. SMITH: And I know, I'll just summarize,
22 certainly, the Legislature wants to see this. The
23 question is does it make sense for rates?

24 We are, unfortunately, seeing some of the subsidy
25 programs which -- this is the area I highlighted before,

1 it benefits a few at a great expense, and when you stand
2 back at the 10,000-foot level, does it make sense for all
3 ratepayers?

4 And so it's going to be one of that -- that cost
5 issue that we're really going to look closely at.

6 MR. REINECCIUS: Thank you very much.

7 COMMISSIONER BYRON: Thank you.

8 MR. GRAVELY: There's a second question here, on
9 the WebEx, on storage, so I'd like to address that
10 question in response here.

11 And for those that aren't aware, this Integrated
12 Energy Policy Report is a series of workshops. And we
13 had a workshop on April 2nd, on storage. The question
14 here was the challenge between storage not being
15 generation, and not being distribution, and being
16 multiple opportunities.

17 That topic was discussed aloud, and we formed a
18 separate, small working group to come up with some
19 specific policy recommendations for the IEPR and for the
20 people to consider for the - and trying to figure out
21 with the ISO, with the utilities, with the manufacturers,
22 and with customers how best to categorize storage.

23 Again, for those individuals interested, tomorrow
24 we will talk a little bit about that, myself, and Pedro
25 Gomez. Again, he's speaking tomorrow. And our contact

1 information is available on the information here. And
2 so we will be providing this information as part of the
3 2009 IEPR.

4 I wish it could happen faster, but it will happen,
5 it will be coming publicly. The recommendation will be
6 provided publicly and we will be looking for comments.
7 Those that are interested can certainly contact myself,
8 or Mr. Gomez, to keep track of the activities.

9 But we did take an action from that April 2nd
10 workshop to prepare some specific understandings and
11 policy recommendations on storage, to address this issue
12 of ownership, this issue of value, this issue of how
13 storage can help us with renewables and some of the
14 policies.

15 So it is not - there's not a right or wrong answer,
16 and so we're trying to come up with ways to do that.

17 And so one of the previous IEPR workshops had
18 identified this issue as a topic for discussion, we have
19 chartered ourselves to come back with some
20 recommendations. It could very well end up as a white
21 paper, or something, to go into the proceedings that
22 Commissioner Chong is managing for the PUC.

23 So we have recognized this issue, we do see the
24 challenges, we're all working it as a group, and we do
25 anticipate some action or recommendations as part of the

1 2009 IEPR. So I wanted to point that out.

2 So I have one last individual for questions.

3 Merwin Brown was interested in a question. Do you want
4 to come forward and ask your question to the panel,
5 because you'll be the last one before we break?

6 You have an opportunity to challenge the panel,
7 here. You have a question here, you asked; do you want
8 to ask it?

9 MR. BROWN: You can ask it if you want.

10 MR. GRAVELY: Come down and identify yourself, and
11 ask it.

12 MR. BROWN: Okay. One question had to do with
13 standards development, it's key to developing the Smart
14 Grid. But one of the pressures to develop this standard
15 is an unprecedented repetity here. It usually takes
16 years to put standards in place.

17 I know I had a peripheral involvement, when I
18 worked at the National Renewable Energy Lab on the
19 standards for distributed generation, and that went on
20 for years. Now, we're trying to do them in months.

21 So I guess I'd ask the question of what are the
22 pros and cons of moving rapidly, because I guess I can
23 see both? And I guess I'd like to hear some discussion
24 on that.

25 COMMISSIONER CHONG: Okay, I'll take a cut, quick.

1 Well, what's the pros? Well, the pros is there is, at
2 the Federal level, the feeling that there's an urgent
3 need for less dependence on foreign oil, and I think it
4 has to do with two wars that we happen to be fighting
5 right now and the loss of American life. And I'm just
6 cutting to the chase here.

7 So I think there's an accelerated interest in
8 developing sources of clean, green energy, and that
9 specifically includes renewables and other distributed
10 forms of energy.

11 And so we've got to figure out how to integrate
12 that into the grid. And the problem is we don't know
13 whether the Smart Grid is smarter than a fifth grader.
14 We hope it is, but we got to get it a little smarter to
15 integrate these renewables.

16 So, you know, what's the rush? That's the rush.

17 Now, can you do it that fast? We don't know. But
18 we're hoping you'll tell us you could do it faster than
19 we were doing it, let's put it that way.

20 And so part of the Leadership Council is that the
21 Secretary of Energy, Steve Chu, and the Secretary of
22 Commerce, Gary Locke, is going to ask the CEOs whether
23 they can commit to putting some resources to figure out
24 if we could do this faster than it was normally going.

25 And we'll find out what the answer is on Monday, in

1 Washington, D.C., at the White House.

2 So do I think that's a good thing? Yeah, I do
3 think it's a good thing. Yeah, maybe this would have
4 taken us 10, 15 years otherwise. Could we do it, maybe,
5 in five or seven? Yeah.

6 You know, this is America; we have the world's
7 greatest entrepreneurs in this country. We have
8 transformed the computer and the telecom industry in 25
9 years. Things are happening at unprecedented speeds.

10 So should we have the edge in this? Yeah, if we
11 want to commit to it, sure, we could.

12 Is that a good thing for this country? Yeah, I
13 think so, there's a global warming problem. You know, we
14 need to protect our energy systems from cyber attacks.
15 We need to have more renewable energy.

16 Does it come at a cost to consumers? Yes, it
17 might. So let's quantify that cost. And we can't really
18 quantify that cost until we have price signals and the
19 ability to send those price signals, so that we can get
20 the most efficiency and reliability out of the system.
21 That only happens if you have a smarter grid.

22 So, essentially, we're trying to make sure that we
23 can quantify the payoffs, and if they are there, then
24 we'll slowly make that change. But it's going to have to
25 happen a little faster than probably it would have

1 happened, yes.

2 And the con, you know, it's the cost. So we have
3 to make sure this is a cost-effective experience. And
4 that's what needs a lot of focus right now because we
5 don't know the answers to that part, yet.

6 MR. DETMERS: Yeah, I would agree with Commissioner
7 Chong on that, all of her points, pro and con. As well
8 as I would add to the cons, Merwin.

9 You know, if we're all sitting back waiting for a
10 standard to be developed before we actually produce
11 something, the time is definitely a problem, and so
12 that's definitely a con.

13 As well as, once you begin specifying what that
14 standard is, and the developers have to meet that
15 standard, then you're adding barriers, you're adding
16 restrictions, you're adding, you know, potential
17 complexity and potentially cost.

18 And so I don't see the standards to be an issue. I
19 think we have to start out with some basic standards in
20 place to meet our needs, and we first have to define what
21 our needs are and what our -- what this transformed
22 system looks like, that we want to move to.

23 But I see standard as being an evolutionary type of
24 a process. So I don't want anyone in this room, or
25 anywhere listening to this, to think that they all need

1 to wait for the standard to get here before we start
2 trying something and start moving on things.

3 Because where we are is in a place where we have to
4 move, and we can't just sit back and just wait for the
5 old ways to -- that we always depended on, that was as
6 you walk into this room and you flip on the light switch,
7 everybody expects it to be there. That's a nice
8 assumption.

9 But what we need to do is move to a new way of
10 doing that. As you turn on that light switch, you should
11 know how much cost it is to turn on that light switch
12 before you come into that room.

13 I don't mean that we need, you know, technology to
14 tell us all the way down to that point, unless it's very
15 cheap and very reasonable.

16 But standards is, again, an evolutionary process,
17 it's not something -- the standards that we have today,
18 that we work with existing generating fleet, that was
19 developed over the last hundred to two hundred years, and
20 it wasn't developed just in one keystroke. And it wasn't
21 developed before we started building new generation and
22 different changes in the generation.

23 We actually went after and allowed the innovation
24 to take place and then we said, yeah, that looks good,
25 and we need a standard around that.

1 We need to start the moving before we just focus
2 in our standards, though, is where I think we are right
3 now.

4 MS. SMITH: I just want to make a distinction, and
5 I'm not the technical person, but I think there's also
6 this issue between - a distinction between the
7 performance standards and the interoperability standards.

8 Politically, we don't want to end up with
9 technologies that don't work together, because that's not
10 an efficient use of ratepayer money.

11 And Commissioner Chung is so right, we have a
12 country full of wonderful and creative entrepreneurs,
13 some of which have already been in the halls of the
14 Legislature, you know, over the past couple of years,
15 trying to mandate certain laws that would end up only
16 using their technology. And their technology, of course,
17 then wouldn't work with anything else.

18 And so we do need to be aggressive, but we do need
19 to watch for those pitfalls of things that don't work
20 together. Otherwise, we end up with a system five years
21 ago that is -- will remain antiquated, because it will
22 not be structured such that it can be updated as our
23 technologies continue to improve.

24 MR. GRAVELY: Okay.

25 COMMISSIONER BYRON: I think Ms. Smith has it

1 exactly right, I agree completely. I jotted it down in
2 my notes here, you know, the interoperability versus
3 proprietary issue, extremely important.

4 And if I could take it back to the cracking the
5 information nut, I think that's really where that
6 settles. So the pro is that we need those standards now,
7 for that reason.

8 And the con is, as Mr. Detmers said, we can't wait.

9 MR. GRAVELY: Okay. In the interest of time, and
10 the panel, and the other people here, I have one final
11 question. There are a couple of questions that came in,
12 that I believe we can answer after lunch, for the
13 individuals, when we have the Utility Panel.

14 And that would be we have the opportunity this
15 afternoon and tomorrow to bring together approximately
16 150 experts in the Federal Smart Grid. So I would ask
17 each of you to take the opportunity to provide us, this
18 group, and the people, there's about 60 people online,
19 and we anticipate them today and tomorrow, areas where
20 you think we can focus information you'd like to hear
21 from us, I guess to charge us with what should we come
22 out tomorrow afternoon, when this conference is over, and
23 how can we provide information to the policymakers, so
24 that the questions and the issues with Smart Grid are
25 brought to the surface and the information you need to

1 make decisions is made available sooner than later.

2 So I guess we would take this as an opportunity to
3 help us focus our discussions for the next day and half
4 and, hopefully, help us to develop our comments for the
5 IEPR.

6 So I'd like each of the panel members to give us
7 their personal thoughts for myself, and the members here,
8 and the members online as to what we can do in the next
9 day and a half to make this more productive for the IEPR.

10 COMMISSIONER BYRON: Thank you, Mike. I was
11 thinking, similarly, that we needed to end with something
12 like this.

13 Let me ask a question before I speak. Mr. Detmers,
14 do you have anymore time here or is this it?

15 MR. DETMERS: I have activities back at -

16 COMMISSIONER BYRON: That's what I thought. And
17 Ms. Smith, we're losing as well.

18 So I believe the Commissioners will stay and we're
19 going to continue to talk around this subject.

20 But I definitely want to thank both of you for
21 being here and we want to make sure that we get our last
22 remarks from you, before you leave. So I appreciate
23 you asking me a question.

24 I'm going to pass on this, Mike. I feel like I've
25 had enough opportunity to speak and I'm going to be here

1 both today and tomorrow.

2 MR. GRAVELY: Okay.

3 COMMISSIONER BYRON: And when we do workshops like
4 this, where we start with the "talking heads," we usually
5 get to hear from our panelists, and such, and that's why
6 we're principally here.

7 So this is a little bit different. So like maybe
8 for the benefit of Mr. Detmers and Ms. Smith, we'll pass
9 it straight down the line here and ask if Commissioner
10 Chong --I'm sorry, Commissioners Rosenfeld and Chong
11 would like to say anything.

12 COMMISSIONER CHONG: Art is so terse.

13 All right, I'm going to take a real quick one. So
14 from the PUC's point of view, what I would really like
15 people to focus on is taking California's State Energy
16 Policies, as enunciated in the Loading Order, and to
17 relate it specifically to how Smart Grid may help the PUC
18 achieve those goals.

19 So I'm just going to give you a couple of examples,
20 so greenhouse gas. There is some very good work being
21 done by EPRI, showing how Smart Grid is green and can
22 help in various areas in terms of greenhouse gas
23 reduction. Now, that type of work was very helpful to
24 me.

25 Demand response. There is tremendous potential for

1 Smart Grid on demand response. And I know Art is laser-
2 focused on this issue, bless his soul. So that's an area
3 that I'm very interested in.

4 Renewables. How can Smart Grid enhance distributed
5 generation on renewables. That's of very keen interest
6 to me, and I know it will be of keen interest to the
7 Legislature, because they're working on renewable bills
8 right now with great focus.

9 And then I have a personal interest in this
10 electric vehicle issue because, you know, I woke up one
11 day and just realized these things are right on the
12 market. And in China there's a lot of them.

13 Japan, I drove a Mitsubishi car about a week ago,
14 that 2,000 are being produced and already sold in Japan.

15 So this is happening elsewhere and they're going to
16 come on very soon in California. A lot of these new EVs
17 are coming to California first, of course, because we're
18 always the nation's leader. And I don't feel like we're
19 ready.

20 So I'm going to put some personal focus over at the
21 PUC on looking at our EV tariffs, and talking with our
22 utilities about what needs to be done. We're looking at
23 some infrastructure outside the home to charge them up.
24 So we're going to put some time into that this summer and
25 see what we can do. So that area is of interest to me.

1 So that would be my focus. And I just wanted to
2 say, Mike, thank you for your leadership on this
3 research. Storage is an area that I realize is extremely
4 important, both in the home, and in businesses, and in
5 substations. So as you heard, we're holding one of our
6 workshops with a focus on storage.

7 And I hope that as soon as your research is done
8 that you will send it right on over to us. And,
9 hopefully, you might be able to come to that workshop and
10 present whatever you've got at that time. But I think
11 that's a really important area.

12 And my hat is off to you for recognizing that and
13 helping to educate me into why that's important. Okay.

14 MR. GRAVELY: Okay, Kellie.

15 MS. SMITH: I'm going to put it very simply, just
16 remember at the end of the day, of all your work, what's
17 in the best interest of all ratepayers, not just those
18 few that are going to be using the system, and not just
19 the utilities, the ISO, et cetera.

20 But at the end of the day, do you want to be on the
21 other end of the phone when that ratepayer calls, and
22 they get their bill, or their lights get shut off or, you
23 know, whatever their problem is, and do you feel like you
24 would have a system and a policy in place that makes
25 sense to them, and controls their rates, and delivers

1 that electricity reliably.

2 COMMISSIONER CHONG: Okay, because of what Kellie
3 just said, we have to factor in the cost-effectiveness of
4 everything that I had said. Thank you.

5 MR. DETMERS: Yeah, and that's absolutely the fact
6 of what we need to do. We don't have a blank check and
7 we can't just implement everything that the dreamy
8 engineers want to put into place.

9 But I will say, I think the initiatives that we
10 just talked about today, of storage, storage by
11 customers, and I was glad to hear the gentleman come down
12 and talk about storage on the customer side, we really
13 need to stop and take a look at how we want this system
14 to change as we go forward. And we have every
15 opportunity of making that cost effectively, doing it
16 right for the customer, and doing it right for the way
17 the grid operates, and for the utilities and how they
18 operate the grid. Not for the benefit of everybody in
19 the stock market, and what have you.

20 My two points, to go back to your question, Mike, I
21 think I want to make sure that not only do we deal with
22 the customer side of this transformation, and have smart
23 customers and enable those smart customers with that
24 information, but also on the resource side, with having
25 the demand response be a capable resource that we need to

1 have. I think those are two key and top points.

2 But I also want us not to overlook the hidden
3 system that's always out there, that I work with every
4 day on the transmission grid, and we do need to move that
5 forward.

6 And that goes back to what I think you're going to
7 be hearing this afternoon and tomorrow, is the being able
8 to accurately and effectively control this power system,
9 with all of these changes we're talking about, is going
10 to be a hard picture looking forward, and we really need
11 the tools to be able to do that.

12 And that goes into the phaser angle measurement
13 systems, and the WHAMs, and all of those types of things
14 that help us get there. And I think we've moved quite a
15 distance, but we still have a little bit farther to get
16 us the information, so we can see what's actually
17 happening on that system as well, and do the right things
18 to be able to control it.

19 So I think we're on the right track and I'm excited
20 for taking it to where it needs to go. Thanks.

21 MR. GRAVELY: Thank you.

22 COMMISSIONER BYRON: All right, are we ready to
23 break or do you have something else to say, Mr. Gravelly?

24 MR. GRAVELY: A change for the afternoon. We had
25 some schedule changes, and so what I'd like to do in the

1 afternoon, in light of the tightness of the schedules,
2 is to give a little more time to the utility and the
3 manufacturing panels, so myself and Jim's opportunity,
4 and the PUC individual was not able to make it here, so
5 I'm going to move up the industrial and utility panels to
6 the early afternoon.

7 So we'll start back about 10 or 15 minutes past
8 1:00, say 1:15, and we'll start with the utility panel.

9 And if we have questions after the two panels have
10 gone, then we'll come back and do the CEC and other panel
11 members here.

12 COMMISSIONER BYRON: Okay. I was not going to be
13 as generous on the start, but we will start at 1:15
14 sharp. Thank you, Mike. We thank you so much for being
15 here.

16 MR. GRAVELY: For those online, we'll keep the
17 WebEx open.
18 Thank you.

19 (Applause.)

20 (Whereupon, at 12:10 p.m., the Workshop was
21 adjourned, to reconvene at 1:15 p.m., this
22 same day.)

23 --oOo--

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

1:15 p.m.

19

AFTERNOON SESSION

20

21

22

MR. GRAVELY: So I'd like to welcome everybody
back. We have some minor adjustments to the afternoon
schedule.

23

24

25

As I said earlier on, the first panel, the
Government perspective Panel, we covered that in quite a
bit of detail this morning and so we're going to go ahead

1 and start into a more detailed utility and industrial
2 perspective.

3 If we have time, myself and the ISO will be
4 prepared to answer questions in the afternoon, if we
5 need.

6 We do have a visitor from DOE here, from the policy
7 side, and so after this panel's done, before the break
8 we're going to have a short discussion from him and a
9 chance to answer a few questions from the DOE
10 perspective. His name is Dr. Peter Karpoff, and he's
11 from the DOE policy side, so he offered to provide some
12 information.

13 So this afternoon discussion is now we're going to
14 start looking, we're going to get down into the
15 implementation of the Smart Grid.

16 We're going to start, the first panel will be the
17 utility side, and the second panel will be from the
18 industry, the manufacturer side.

19 Again, we'll go through, in this case we'll have
20 each of the panel members will make a short presentation
21 and then we'll have some discussion and open it up for
22 questions.

23 Those of you in the room, again remember that we
24 are using blue cards to record who wants to have
25 discussions. There were two questions from the morning

1 session that were primarily focused on utility
2 implementation, so I'm going to save those questions
3 until this panel.

4 But feel free to get a blue card and turn it in
5 down here, so we can get you in the queue for your
6 questions.

7 And on the WebEx, if you have a question and we're
8 not able to turn up the mikes, type it in and we'll pick
9 up your question and put it on a blue card for you, from
10 that perspective.

11 Any opening comments, Commissioner Chong or
12 Commissioner Byron?

13 COMMISSIONER BYRON: Go right ahead.

14 MR. GRAVELY: Okay, so I'm just going to give a
15 quick introduction to the panel members and then have
16 them come, one at a time, we'll come down and give
17 presentations.

18 So from San Diego Gas & Electric we have Terry
19 Mohn. And from Southern California Edison we have Paul
20 De Martini. From PG&E, Kevin Dasso. From SMUD we have
21 Jim Parks. And from EDF we have Richard Schomberg.

22 And we have, in addition to the agenda, we have him
23 seated, of course, we have from SCPA, from the Southern
24 California Power Authority group, representing public
25 facilities, Fred Fletcher will give a short presentation,

1 a short talk on that and be here to answer questions.

2 So with that I'm going to start off with Terry.

3 And you want to talk from here or there, your choice?

4 MR. MOHN: I'll control from up there.

5 MR. GRAVELY: Okay, let me bring up your
6 presentation real quick. Okay, now it's working. And
7 you know just to flip it down.

8 MR. MOHN: Right.

9 MR. GRAVELY: Okay, thank you.

10 MR. MOHN: Thank you. I'm Terry Mohn. I'm from
11 San Diego Gas & Electric. And at SDG&E I'm responsible
12 for Smart Grid strategy.

13 I also am the Vice Chairman of the Gridwise
14 Alliance, and I spent a quite a bit of time in
15 Washington, talking with policy makers there.

16 So what has happened is CEC has asked us to answer
17 a couple questions, so I put together some thoughts that
18 SDG&E has in responding to those questions, but also,
19 hopefully, I can convey a little bit of flavor from YC,
20 the regulators in Washington.

21 The first question that we were asked to consider
22 is what can policy makers do to encourage research
23 investments in Smart Grid technologies?

24 And number one is that we have a complex regulatory
25 environment in that there's a dividing line of approval

1 processes that take forth between Federal, the FERC,
2 Federal Energy Regulatory Commission, and the CPUC.

3 And what we'd like to do is get a very clear
4 understanding about what the clear distinction of
5 authorizations occur between those two agencies as we
6 start to deploy Smart Grid. Recognizing that Smart Grid
7 covers a broad swath of the utility sector, from bulk
8 generation all the way down to the consumer, the diving
9 line of where those authorizations for funding takes
10 place is muddled quite a bit, and so we'd like to get
11 some sort of certainty for how those authorizations are
12 going to take place for some of the projects that we want
13 to implement.

14 And then each of the regions in California is a
15 little bit different. WE have our own emphasis in areas
16 that we want to explore research.

17 Right now, the PEIR program, CEC has a very large
18 budget for research, they look at research at the macro
19 level.

20 But with the region, within SDG&E, we have unique
21 characteristics that we'd like to explore. But some of
22 those projects require more than just minor amounts of
23 funding and we'd like to have a little bit larger
24 research budget to cover some of those issues.

25 The next answer to the question is we know that

1 there are a lot of great results from research that's
2 already taken place across the entire nation. A lot of
3 those results don't become public domain. And if it is,
4 you have to go through an extensive search process.

5 What we'd like to do is see that some of the
6 research that takes place, not only in California, but
7 across the U.S., is posted in a way that we have direct
8 access to it, and then we can search through it in a way
9 that's convenient to point to the interests that we have.

10 We know the Department of Energy is going to be
11 creating a clearinghouse in the future but, in the
12 interim, is there something that the California Energy
13 Commission can do beyond the website that they have
14 today, that assembles all the great research that's been
15 done around Smart Grid and make that available for the
16 public.

17 And then lastly, one of the answers on this
18 question is we know that standards are under development
19 across the U.S., a lot of people have been watching what
20 the National Institute of Standards and Technology is
21 working on in developing a roadmap for standards for
22 interoperability.

23 California's been doing a great job, we've been a
24 leader in many areas, but we just want to make sure that
25 we really stay connected to the national work, that we

1 have a strong connection to that work, and just ensure
2 that, you know, California, if not a leader, at least
3 very engaged in that activity.

4 So the question about are the policies in
5 California moving away from the policies at the national
6 level, and our belief is that not. In fact, our policies
7 are very much aligned. The thing is that we have a
8 little bit more aggressive goals in our policies than the
9 rest of the nation. And so that takes on a little bit
10 more risk for us because a lot of the rest of the nation,
11 in terms of overall purchasing power, California is
12 typically the first purchaser, first of a kind. And that
13 puts us a little bit more at risk in making some of those
14 acquisitions.

15 So we just want to make sure that we have some
16 sort of alignment with where the Federal policies are
17 going.

18 So the carry-on question is are we too aggressive,
19 is California energy policy too aggressive?

20 And getting back to the statement I was just
21 making, we believe that we're very progressive,
22 particularly in the area of renewables, but we want to
23 just make sure that as we implement our portfolio
24 requirements that we don't get into a situation where we
25 have stranded assets. So we just need to make sure that

1 we have provisions in our policies that give us rate
2 recovery.

3 That a lot of the conversations that took place
4 this morning around intermittency of renewables is a very
5 big issue for us. We are kind of the cul-de-sac in San
6 Diego, of the transmission grid, and so our issues are a
7 little bit different than they are mid-state or north.
8 And so we need to ensure that we have a way to mitigate
9 those variabilities.

10 And then, of course, most people know that we're
11 where the pockets that renewable generation exist aren't
12 where the load pockets are, and so transmission getting,
13 you know, the power from where the generation is to where
14 the load is, is one of the bigger issues.

15 And those of you who have been following this in
16 San Diego, you know, Sunrise Power Link has been in the
17 news for the last four years and we're still not
18 implemented, it's still going to be a couple more years.
19 So just the fact of getting transmission sited is a very
20 complicated situation, so that's one of the areas that I
21 think California can be a little bit more progressive.

22 How do we avoid repeating the problems experienced
23 during deregulation? Well, we saw that during
24 deregulation we had a disconnect between wholesale and
25 retail markets, and so some of the stakeholders that were

1 managing the decision making on both of those sides,
2 some had more influence than the others. And what we
3 wanted to have is a balanced playing field, where
4 everybody has the same voice.

5 So what we can do is learn from that experience
6 and make sure that we have a very transparent process,
7 that all the stakeholders are listened to. And even
8 what's happening now, with Cal-ISO, with the real-time
9 rates that that information now is becoming public and we
10 can use that in a real-time manner.

11 And then, lastly, what do the policy makers need
12 to do to make the Smart Grid a reality?

13 As I mentioned, there's a vast amount of work
14 that's taking place at the Federal level, there's a vast
15 amount of work that's taking place here, in California.
16 California has always been deemed a leader; it still is
17 being deemed a leader. But there are other pockets,
18 other states that are coming forward with their own
19 recommendations at the public utility level.

20 And it would be great, as our regulators work
21 through the National Associated Regulatory Utility
22 Commissioners that we have a common vision on what each
23 of the states will do and it will be consistent across
24 all the states.

25 So even as the Federal government comes forward

1 with their policies, that each of the independent
2 states, as they're coming forward with their policies
3 that they all look consistent. And that way, as we start
4 to procure products and new solutions that they're not
5 just state-centric, that they are universal.

6 And one can almost argue that the vendor
7 community, when they come to sell products into our
8 business, they're international companies. So perhaps
9 it's worthwhile to look at what are the international
10 rules, more than just even what the national or state
11 level rules are.

12 Another challenge that we have in implementing
13 Smart Grid is that we know that all of us have a vast
14 amount of existing investments in legacy equipment that
15 has been built over the last hundred years. It's not a
16 simple matter just to replace that because Smart Grid is
17 in vogue today and we need to introduce those new
18 technologies.

19 But what we need to do is ensure that we have the
20 opportunity to integrate technologies as they're
21 appropriate and cost effective, and the standards for
22 interoperability make sense.

23 That sometimes means that we do replace existing
24 technology that isn't fully depreciated. So what are the
25 rules around how do we do that? At what point do we make

1 the decision that it's okay to remove an asset that's
2 not fully depreciated, but the shareholders -- I'm sorry,
3 the stakeholders and the ratepayers aren't carrying an
4 extra burden for paying for multiple assets.

5 And that concludes my discussion, thank you.

6 MR. GRAVELY: So one quick admin discussion for
7 here in the room, I didn't mention earlier, but there was
8 a pair of rental car keys found during the lunch break.
9 So if someone is looking for those, they are at the
10 security guard out by the front door. I'm assuming when
11 they want to go home, they'll need those.

12 And so as we go through we'll have an opportunity
13 for all six panel members to talk, a short presentation
14 like this, and then we will have some questions for the
15 panel that I'll have, and then we'll throw it out. And
16 then, also, the Commissioners may have some questions for
17 the panel, and then we'll open it up for general
18 discussion.

19 Our next presenter is Paul De Martini, from
20 Southern California Edison. You want to speak from
21 there?

22 MR. DE MARTINI: Yeah.

23 MR. GRAVELY: Okay, let me get your charts up real
24 quick.

25 MR. DE MARTINI: I don't have any charts.

1 MR. GRAVELY: Okay, just a title. I'll just
2 stand here, then. Thank you.

3 MR. DE MARTINI: Well, thank you for the
4 opportunity to participate in the panel today and, of
5 course, tomorrow as well, we look forward to it. The
6 ongoing discussion this morning was very informative
7 and appreciated the comments from the Commissioners and
8 the other invited speakers.

9 For the five questions that were given, and I'll
10 go in order, the first in terms of what policy makers
11 can do to encourage research investments?

12 Edison asks that the policy makers in this State,
13 not only the Commission, but the Legislature and
14 others, fully recognize more research is needed
15 particularly in applied research, electric system
16 analyses, and technology demonstrations.

17 The most promising energy technology, such as
18 utility-scaled storage and superconducting field
19 equipment require additional development to become
20 commercially viable.

21 When we look at information systems and
22 telecommunication networks, more work is needed to
23 refine the business uses into architectures that will
24 address not only the path forward, but also a graceful
25 transition from the past. In particular, the operating

1 complexity of the electric system, overlaid with a
2 pervasive telecommunication network and highly
3 integrated set of mains of sensor nodes, new control
4 systems, and field switching devices is massive.

5 These efforts also need to bound enthusiasm with
6 the clear recognition that rate pressures exist and
7 customer value must be demonstrable.

8 As a result, the range of engineering,
9 organizational, and customer issues that are raised are
10 significant and are attracting the best minds in the
11 industry, utilities, and academia to solve.

12 Today we have a fantastic opportunity to take
13 advantage of this talent to help us design and
14 implement the grid for the 21st century.

15 However, State and Federal programs cannot do it
16 alone. Too much needs to be done and utilities,
17 vendors, and other California universities can play
18 roles in furthering Smart Grid research and
19 development.

20 Edison, and other California utilities, often
21 serve as the path to commercialization for PEIR program
22 technologies and those of product manufacturers.
23 Without intimate knowledge and hands-on experience
24 providing feedback to product manufacturers and
25 developers, technological progress is often delayed or

1 never reaches commercialization.

2 As a recognized industry leader in the
3 development and deployment of Smart Grid technologies,
4 Edison has been actively engaged in many innovative
5 technology development programs, including Edison Smart
6 Connect, Our Circuit to the Future, electro drive
7 systems, and Synchrophaser measurement applications.

8 These programs have been developed at a
9 relatively low cost; they are expected to create
10 significant benefits.

11 However, the current level of funding for utility
12 RD&D is insufficient to achieve the transformation of
13 the grid, needed over the next decade or more.

14 The CEC, California Public Utilities Commission,
15 and California Air Resources Board support for electric
16 utility RD&D would significantly accelerate the
17 development and deployment of the Smart Grid.

18 California is home to nine of the world's best
19 research universities, with engineering schools
20 interested in Smart Grid research. Six in Southern
21 California, got to do a little local plug.

22 We are also fortunate to have California State
23 University system and many national recognized private
24 universities, with an interest in educating the next
25 generation of researchers and professionals for the

1 electric industry.

2 Several schools are starting to reinstitute power
3 certificate in their electrical engineering programs,
4 and students have begun forming special interest groups
5 on campus around Smart Grid, and the like.

6 This year Edison helped to form a university
7 Smart Grid research consortium, in Southern California,
8 that includes UCLA, USC, Cal-Tech, UC Irvine and Santa
9 Barbara to start.

10 With the pending age bubble, although it's been a
11 little bit stalled because of the economy, we do expect
12 that to come back, as a backdrop we had been given an
13 opportunity to align several policy interests,
14 including achievement of environmental goals, grid
15 modernization, and workforce development through
16 expanded research.

17 Policy makers in the State should support a
18 broader engagement of universities across California in
19 their pursuit of funding opportunities at the State,
20 Federal, and industry research.

21 One of the things we talk about with stimulus
22 funds is focus on the Smart Grid, but there's also this
23 other pot of money, ARPA-E, that has become available,
24 and many of the research universities in the State are
25 very interested in this. Those applications are due,

1 those white papers, concept papers are due June 3rd, I
2 believe. So there's a lot of interest going on right
3 now for those universities to try and get access to
4 that fund, set of funds, and also at the National
5 Science Foundation, as well.

6 Are California's policies driving the California
7 grid away from the national grid? We don't believe so.

8 We do, as Terry said, believe that California's
9 policies are driving California's grid to the national
10 vanguard. This is positive in that we have an
11 opportunity to shape national perspectives on many
12 elements of Smart Grid development and implementation.

13 California's early adoption of these policies
14 does require us to move more quickly than the rest of
15 the nation, which may temporarily cause gaps with
16 national efforts. Yet, based on the current
17 Administration and Federal policy, the goals appear
18 consistent.

19 Edison and our colleagues at PG&E, in San Diego,
20 are very active at the national and international
21 levels to address this issue. However, we do need to
22 be mindful of these efforts and remain engaged in the
23 policy discussions, legislation development, just to
24 give you an example there were four cyber security
25 bills released in the last three weeks, at the House

1 and Senate, Federal regulations and standard
2 development, so that the California Smart Grid
3 investments do not become stranded.

4 Are policies too aggressive? There is no doubt
5 that California energy policies are aggressive
6 particularly compared to Federal policies or those
7 proposed by other states. Edison believes that many
8 aspects of a Smarter Grid will need to be in operation
9 by the year 2020, similar to what Mike shared earlier,
10 to enable our ambitious policy goals, such as AB 32,
11 Zero Net Energy Homes, California Solar Initiative,
12 advanced metering infrastructure, renewable portfolio
13 standard, load carbon fuel standard, and the wide-
14 spread adoption of plug-in electric vehicles, and
15 that's just the highlights.

16 To achieve these goals significant investment in
17 RD&D, capital deployment and workforce training will be
18 needed. It will also require effective engagement with
19 broader State and Federal stakeholders.

20 And the challenge is managing the development of
21 this future grid while replacing the basic elements of
22 the existing, aging infrastructure, not to mention
23 maintaining critical day-to-day operations.

24 These challenges can be simplified into basic
25 scope, schedule, budget and resource questions. For

1 example, how much can be accomplished over what time
2 period, at what acceptable ratepayer impact, and given
3 qualified and available resources.

4 I think sometimes we tend to forget that there
5 are only so many qualified line craft people, so many
6 qualified technicians that are available in the
7 marketplace, and so there is a resource constraint in
8 the near term until we get other folks trained up to be
9 able to implement these systems.

10 The 2020 vision roadmap, proposed by EPRI, on
11 behalf of PG&E San Diego, and ourselves, along with the
12 CPUC, Smart Grid OIR workshops should help us better
13 understand the answers to those questions.

14 In terms of how we might avoid repeating the
15 problems experienced during deregulation, one of the
16 aspects that we think about is the concept of Smart
17 Grid for many evokes the opportunities that we've come
18 to expect today from the internet, in terms of
19 ubiquitous information and transaction capability.
20 However, we need to remind ourselves that the internet,
21 as we know it today, evolved over 40 years and the
22 national electric grid, today, is not much different
23 than when the internet started in the late sixties.

24 The electric grid will require phases of
25 evolution that add increasing functionality and

1 complexity, understanding both the potential benefits
2 and potential consequences of the complexity of each
3 stage before implementation is an essential aspect.
4 Otherwise, we're likely to write a sequel to the
5 beautiful theory meets ugly reality story.

6 It's really important as we start to think about
7 these increasing levels of capability that the
8 complexity factor really goes up almost geometrically
9 when you think about it in terms of the numbers of
10 nodes and points that we have to think about, 3,000 is
11 really on the small end when we ultimately get to
12 multi-millions of end points, potentially.

13 Also, this evolution is not based on a linear
14 function. But rather, will fall along a diminishing
15 returns curve. As we pursue greater levels of
16 distributed resources, intelligence and control, the
17 cost of aggregated components, integration and
18 management require a rate greater than the marginal
19 value of increasingly smaller resources, whether supply
20 or demand.

21 So it shouldn't be a surprise, it is the reason
22 Smart Meters were deployed and, for example, in our
23 service territory, for the approximately 13,000-large
24 seeing eye customers that consume 60 percent of the
25 energy, before pursuing replacement of 5 million small

1 commercial and residential meters for the other 40
2 percent.

3 Concepts like vehicle-to-grid or neighbor-to-
4 neighbor transactions ultimately involved millions more
5 points of integration for IT systems and for the
6 physical grid. The current distribution system is not
7 designed for two-way power flow, not to mention
8 hundreds of points of interconnection on a single
9 distribution circuit.

10 We are working to understand the technical
11 challenges, but the solutions will likely to be
12 expensive and take time. Setting priorities with the
13 diminishing returns curve and systems complexity, along
14 with the associated risks in mind will be essential to
15 an effective plan.

16 What are we looking for from policy makers to make
17 the Smart Grid a reality? We would hope that the
18 California Energy Commission, the Public Utilities
19 Commission would support ratepayer-funded utility
20 research, development and demonstration projects to
21 accelerate the development and deployment of the Smart
22 Grid, continuing to engage the California utilities in
23 the development of the policies for the Smart Grid,
24 because we believe that at the forefront, we're very
25 active at the forefront, both internationally and

1 domestically and have a lot of insights to share. We
2 think they can contribute.

3 Continue to support and maintain alignment of the
4 Smart Grid efforts led by other regulators and law
5 makers, including the California Legislature, U.S.
6 Congress, FERC, the U.S. Department of Energy and the
7 U.S. Department of Commerce.

8 Also, to seek to clarify the jurisdictional
9 intersections between states and FERC that must be met
10 in order to implement a comprehensive Smart Grid across
11 California and the west, which includes municipal
12 utilities and non-California WECC utilities, and
13 continue to support California utilities in their
14 applications to the DEO for Stimulus funds. And
15 ultimately at FERC, for cost recovery of prudent
16 transmission-related Smart Grid investments and
17 management of related assets and resources.

18 In closing, Edison would like to particularly
19 thank the CEC for its acceptance of our pre-proposal
20 yesterday for the plug-in electric vehicle charging
21 infrastructure proposal, that we're making forward,
22 actually today, to DOE for the electric transportation
23 Stimulus funds.

24 So thank you very much.

25 MR. GRAVELY: All right, sorry. Thank you.

1 Our next speaker to give their presentation
2 here will be Kevin Dasso, from PG&E.

3 MR. DASSO: Well, good afternoon, everybody. My
4 name is Kevin Dasso, from PG&E. I think I'm going to
5 probably say a lot of the same things that my
6 colleagues have mentioned here, so I'm going to try to
7 be sure that I put maybe a little bit of a PG&E spin on
8 things, kind of emphasize what we're doing in the same
9 way that, again, I think my colleagues have mentioned,
10 we're doing a lot of the same things.

11 In terms of the first question, what can policy
12 makers do to encourage research investments? I think
13 one of the key issues as we think about it is to build
14 on the success that we have already implemented and are
15 implementing here in California.

16 In PG&E's case, we have already installed over
17 2.4 million new version meters, automated meters, Smart
18 Meters, we're reading of 2 million of those, so we're
19 already implementing the kinds of technologies and the
20 capabilities that many other parts of the country just
21 dream about in terms of their capabilities around Smart
22 Grid, so we're already there.

23 As Mike Gravely mentioned in his slide earlier,
24 PG&E's plans are to implement about 10 million gas an
25 electric meters by 2012. So again we believe, just

1 generally, California is uniquely positioned in the
2 Smart Grid space.

3 In terms of research, though, one of the points
4 that I'd like to make is that we're not sure that we
5 need to do a lot of research in the basic capabilities.
6 In fact, I think that was really what both Terry and
7 Paul mentioned. And we need to really focus on pilots
8 and demonstrations, how to connect these together to
9 make, really take advantage of the real capabilities of
10 a Smart Grid.

11 The types of areas that we're talking about will
12 be looking for pilots and demonstrations that would
13 enhance system reliability, demand response, a lot of
14 the discussion this morning. We know how to do that, I
15 think the issue is how we integrate that with other
16 capabilities.

17 Dynamic pricing, Commissioner Chong talked about
18 the program that's already being developed here, at
19 PG&E.

20 So again, we know a lot about this stuff and I
21 think really the research aspect of it, if there is
22 any, is how to knit it together and to really make one
23 plus one equal three and move forward.

24 So that would be the focus area I would -- the
25 guidance I would offer to policy makers in this

1 respect.

2 California versus the national policy, again,
3 California's in a leadership position. I think the key
4 is that we maintain that leadership position and do the
5 kinds of things that demonstrate that leadership,
6 building on our successes. There will be many that
7 suggest that we're too far ahead and that we should
8 slow down, and we would encourage not taking that
9 strategy and taking advantage of what we have already
10 developed.

11 As my colleagues mentioned, we're very active in
12 the Federal standards development and we need to stay
13 coordinated on those efforts, and I believe we are. I
14 think we also need to be sure that the regulatory
15 community and the legislative community know more about
16 what we're doing, so they understand how can they help
17 us in that regard.

18 One of the other points I'd like to make here is
19 that, not just in California, but around the nation
20 every utility is really starting its Smart Grid journey
21 from a different position. We all have different
22 levels of automation, we all have different types of
23 technologies, and as we think about policies going
24 forward, we need to be sure that those functions are
25 compatible and those technologies are compatible, but

1 we're not all going to go down this journey of
2 achieving a Smart Grid in the same exact way.

3 The last point is really to, I guess, avoid the
4 temptation of focusing only on California. Because as
5 I think was also mentioned, we buy our equipment in an
6 international environment and so we need to be sure
7 that things are interoperable and that California can
8 get what it needs through the vendor community.

9 Are California policies too aggressive? No, but
10 there are some things we don't know in terms of how to
11 implement. I think one of the key questions that we
12 have, that was discussed this morning is resource,
13 renewable resource intermittency is a big question, how
14 do we deal with that?

15 How can we truly take advantage of demand and
16 customers as a resource in the mix? Again, those are
17 all things that are a part of our plan; we don't
18 necessarily have the answers to that.

19 I think the other points is that we really need
20 to be flexible, particularly as we think about our RPS
21 and greenhouse gas requirements. You know, our view is
22 flexibility is key, we can't know all the things that
23 we're going to need to know between now and 2020 and we
24 don't want to lock ourselves into a narrow path that we
25 really can't achieve the overall goals.

1 The last point, last but not least, I think it
2 was hit very hard in the panel earlier today, and that
3 is that we really need to have safety valves focusing
4 on cost to customers. We don't want to just march down
5 without regard to cost to customers or the impact on
6 reliability, so those need to be factored in as we go
7 and checkpoints along the way.

8 Lessons learned from restructuring, I think, you
9 know, some of the, lots of reasons that people have
10 given to why we had issues during the initial stages of
11 restructuring. I think, certainly, market design
12 issues, the disconnect between customer prices and
13 energy development prices, and then resources. You
14 know, were the resources available when needed and
15 during those critical peak periods?

16 Smart Grid really enables or addresses a lot of
17 those issues; I think we're going in with our eyes
18 open. Dynamic pricing, demand response, and energy
19 storage are all aspects of the Smart Grid that are
20 aimed at addressing some of the issues that we've seen
21 in the past.

22 And then last, but not least, you know,
23 flexibility as we go forward. Again, we can't know how
24 this is all going to evolve.

25 So how can policy makers support our journey?

1 And I really commend Commissioner Chong in her
2 remarks at the Smart Grid OIR, both workshop, as well
3 as the pre-hearing conference in terms of talking about
4 this Smart Grid as a journey.

5 There is no, we don't believe that there is a
6 defined end state, it is a journey. And so one of the
7 things I think we can do here, in California, is to
8 remind people of that, that it is a journey and that,
9 however, it needs to be a somewhat disciplined journey
10 to focus on really developing the infrastructure.

11 And as a grid person, I always want to remind
12 everybody that the second word in Smart Grid is "grid,"
13 so don't forget about the infrastructure, let's be sure
14 we keep that in mind, but build on that infrastructure.

15 Focus on standards. Again, there's a process
16 that we go through, pilots and then, ultimately, you
17 know, full-scale deployment.

18 So Commissioner Chong asked everyone to think
19 about so how can the Smart Grid help us achieve our
20 policy goals?

21 The way we look at it is that the nice part about
22 Smart Grid, at least as we think about it today in the
23 early stages, there isn't anything that people have
24 assigned or associated with the Smart Grid that isn't -
25 - that is not infeasible. I mean, all those things can

1 be done, potentially, if we followed a disciplined
2 and managed process where we think about the standards,
3 we test those technologies before we engage any
4 customers. The last thing we want to do is put
5 equipment that doesn't work in a customer's home, and
6 send those kinds of issues. So test the assets before
7 they get deployed, demonstrate them through pilots in a
8 controlled way, and then move forward to a full-scale
9 deployment.

10 So as we think about the different capability we
11 follow this, what we think about internally as kind of
12 this virtuous circle here of developing technologies
13 and deploying technologies.

14 The benefits that have been associated with the
15 Smart Grid we believe are all capable, they're all
16 potential there.

17 So that concludes my remarks, thank you.

18 MR. GRAVELY: Thank you, Kevin.

19 Our next speaker with introductory comments will
20 be Jim Parks, from SMUD.

21 MR. PARKS: I agree with what the other panelists
22 have said so far, I'll just add a few comments on this.

23 What can policy makers do to encourage research
24 investment in Smart Grid technologies? I think this is
25 already underway but I think you should define

1 California's Smart Grid vision. We think you should
2 determine the gaps to establish the research priorities
3 and then also fund those priorities.

4 If you look at the recent FOA and NOI that have
5 been released from the Federal government, you'll see
6 that there's a focus on synchrophasers, distribution
7 automation, large scale energy storage, demand
8 response, plug-in hybrid vehicle, infrastructure and
9 then a lot of transmission and distribution focus.

10 I think we need to make sure that we ensure also
11 a customer focus. I think the Smart Grid can help end-
12 users become more efficient and help lower customer
13 bills.

14 Also, I think we need to recognize there's a
15 continuum between the supply side clear on down to the
16 demand side that can enable the entire system to be
17 more efficient and reliable.

18 And then we also believe that you should align
19 Smart Grid priorities with California's policy
20 objectives around climate change, renewable portfolio
21 standards, and energy efficiency.

22 Are California policies driving the California
23 grid away from the national grid? I don't think so. I
24 think California has always exhibited leadership and I
25 think California should continue to do so.

1 SMUD believes that transmission planning,
2 development and cost allocation are best done
3 regionally. We think there's some advantages to that.
4 We think a national approach could force investment and
5 transmission assets that might not benefit local or
6 regional entities and could reduce investments in
7 regional renewables.

8 We think California policies should drive the
9 national grid to California, rather than the other way
10 around. Now, some of the examples where California has
11 led the way has been building efficiency standards,
12 appliance standards, emissions standards, renewable
13 portfolio standards, and we should continue to do that
14 with our Smart Grid efforts, also.

15 Are California energy policies too aggressive? I
16 think I heard a few panelists say no and one say maybe,
17 and I say sometimes. We kind of like the high-level
18 goals, examples of that would be AB 2021, which at
19 least from the municipal utilities required 10 percent
20 energy efficiency over ten years, AB 32, the greenhouse
21 gas goals, and SB 1.

22 But once we have the high level goal there tends
23 to be, the policy makers tend to move into what I would
24 call the micro-management mode. It's like now you're
25 going to tell us how to achieve those goals.

1 And we really prefer, once you establish that
2 high-level goal that you give us the flexibility to
3 achieve those goals.

4 So the issue is outlined in how the goals must be
5 met, the micro-management and I'm saying, you know,
6 resist the urge to micro-manage. Once you establish
7 the high-level goal, give us the opportunity to figure
8 out how to achieve those goals, give us the
9 flexibility.

10 Keep the goals in line to the low-carbon end-game
11 and support the

12 principle of technology neutrality, along with
13 the local solutions and specific services, or best
14 practices to be proven in a competitive market. And
15 then there's the opportunity to intervene after it's
16 clear that we're not achieving the goal or the intent
17 of the goal.

18 How do we avoid repeating the problems experienced
19 during deregulation? We didn't quite view this as the
20 same thing, but we think there are some things that can
21 be done. We need to establish reference design
22 gateways and open protocols for control devices.

23 Regulation should also focus on consumer
24 protection. And we'd also recognize the important role
25 of customers serving utilities as new third-party

1 players enter the game, and then maintain a level
2 playing field as third-party players are not subject to
3 the same regulatory framework.

4 And there's a couple of instances where this
5 comes into play that I can think of right now,
6 especially concerning electricity as a transportation
7 fuel. Right now we've got greenhouse gas goals, we
8 have targets, we're supposed to reduce our electricity
9 consumption, reduce our greenhouse gas footprint, and
10 yet we're supposed to supply electricity for, say,
11 plug-in hybrid electric vehicles. If it goes according
12 to plan, we'll need an additional 750 megawatts just in
13 the California --just in the Sacramento region by 2030
14 to supply the electricity for the plug-in electric
15 vehicles.

16 Now, if we're not getting the credits for that
17 offset in fuel, that's going to be a problem for us.
18 And if the third parties are giving us credits, that's
19 going to be a problem. And I'm sure there are other
20 examples that I'm not mentioning right now.

21 What do you need from policy makers to make the
22 Smart Grid a reality? Once again, I'd hit on
23 establishing high-level goals and ensuring the
24 flexibility to achieve those goals, establish open
25 protocols that are fair and drive down costs, ensure

1 fair play in the market. And then I say go back to
2 question one, which is really defining the Smart Grid,
3 finding the gaps, and then finding research and
4 development that will fill those gaps.

5 Thank you.

6 MR. GRAVELY: Our next speaker will be from
7 Electicite de France, Richard Schomberg.

8 MR. SCHOMBERG: Thank you. It's a great honor to
9 be here today and thank you for having me.

10 I'm a bit of an outsider here, so maybe it's
11 easier for me to look at the same thing through a bit
12 different angles. And I hope I'm not going to be too
13 naïve or provocative.

14 COMMISSIONER BYRON: No, Dr. Schomberg, it's
15 great to have you here, but I think everybody should
16 note that one of the reasons we have you here is
17 because you're very involved in this area and we
18 recognize your expertise.

19 MR. SCHOMBERG: Yeah, maybe it has value to
20 mention. Okay, I'm in charge of research and
21 development for a large international utility, EDF.
22 But I am a member of the OSDOE, Gridwise Architecture
23 Council. I am, which is not written here, a NIST Co-
24 Chair of the Domain Expert Working Group. And I am
25 Chair-elect, President-elect of the IEC for

1 International Standards on Smart Grid.

2 That's really new, many things are going on.

3 I'm not going to touch too much on standards
4 today, because there is a presentation tomorrow where I
5 will expand a lot at the international level on
6 standards.

7 I will try to stick to the questions that have
8 been provided, and I think it's very helpful, actually,
9 to focus a presentation there.

10 So, first, well, how to encourage research
11 investments in Smart Grid technologies? Actually,
12 well, of course, we can - California can put in place
13 incentives, and that's very efficient, that will always
14 work. You can find some mechanism, some money
15 mechanism. But to really show you what is driving me
16 is that I have the impression that the most valuable
17 resource, one of the most valuable resources of
18 California is not fully at work today, which is the
19 incredible brain power California has in all the
20 universities.

21 And I attended, I was invited in a symposium a
22 couple of weeks ago, where I was very surprised how
23 academics, over just a one-day session, were able to
24 brainstorm and come up with completely new ideas.

25 So I guess there might be interesting processes,

1 not to go through RFP. The problem with RFP is it's
2 good because it's providing money, okay, and money is
3 the fuel. But people, to respond to RFP, have very
4 limited time. So how, actually, to be sure that we can
5 tap into all the brainpower? Maybe organizing some
6 kind of contest, or something like that, that actually
7 gives more time for teams to come up on specific topics
8 like, today, you have those five questions for the
9 panel. Well, if you come up with sharp-tuned topics it
10 will be incredibly refreshing to see what the new eyes
11 would bring to the table.

12 At minimum, if it cannot be used directly in
13 projects, it would considerably fuel the thinking.

14 And, of course, now, as we are talking about
15 research, there are many different types of research,
16 actually, we cannot just answer to that question, and I
17 need to touch on the research can be just really
18 applied research, where you try to assess capability of
19 remedial technology, or assess the capability of
20 integration of different types of technologies, or
21 develop new disruptive technology. That's complete
22 different, okay.

23 And there is another type of research that is not
24 very often mentioned, which is actually participating
25 in the development of standards. And as Jim Detmers

1 said this morning, don't wait for standards. Being a
2 standard person, I would say, I'd concur completely.
3 You have to decide and fine-step ways to move forward.
4 But doing this is very dangerous because at the same
5 time you have -- you can do that if at the same time
6 you organize the evolution of standards, you see. It's
7 not just a jumping in something and that's it, because
8 you're going to pay a very high price later on if, at
9 the same time, you don't invest of standards.

10 So I'm okay to jump on projects now, with what
11 exists, just to buy time, but to buy time for
12 something.

13 In one topic on which I haven't seen any real
14 research going on, and it's a bit coming in Europe, is
15 working on the intelligence, itself, of a Smart Grid.
16 Because a lot of the projects are just, A, let's add
17 sensor actuators, and integrate all this, and have a
18 capability of actually reaction of a system. But more
19 than reaction give some IQ to the entire system, and
20 that goes really, really far. And then you can
21 cooperate in market design, asset management and, of
22 course, some value can rely, the value can rely in the
23 anticipation.

24 If you know the information in advance, that's a
25 very general statement, but it's always, it's proven to

1 be true, if you know some information in advance, if
2 it's temperatures, if it's evolution of a conception,
3 whatever, 24 hours in advance, you can derive huge
4 amount, huge value.

5 So my message here is focus on the intelligence
6 of the system, which I haven't seen really well, not in
7 California, but even much elsewhere. So enough said
8 about research.

9 California policies driving California Grid away
10 from the National Grid? Actually, is there a National
11 Grid? Well, California has been leading the way,
12 completely leading the way with energy efficiency, AMI,
13 DR, you see it at the Federal level, the Energy Act of
14 2005, which was actually the generalization of what
15 California's has been doing. Well, that was my
16 reading.

17 But, but actually, now, I have the impression
18 that other states, or at the Federal level, you see,
19 the big ball is started to roll and actually it seems
20 to move fast, and well it doesn't do justice to what
21 California did, definitely. But there is something
22 very dangerous because California has probably the
23 highest number, largest size of projects and definitely
24 if the other states and Federal are leading the way,
25 and if California is somehow slowing down, or still

1 looking around and losing the momentum, then it might
2 actually hurt the California projects. That's my
3 reading and I hope it's not going to happen. But that
4 means that there's some kind of urgency to whatever
5 exists today in terms of legislation, or whatever, and
6 I will touch again into this.

7 You see, it's like our standards, you see, move,
8 but move knowing there are things that are not perfect,
9 and that knowledge were the things are not perfect,
10 it's a given, it's a decision, it's an informed
11 decision, and so move and buy time to actually do
12 better for the next round.

13 Now, are California energy policies too
14 aggressive? And I would provide a different answer
15 from the other panelists. Actually, maybe too much
16 aggressive but, actually, you may do not enough. And I
17 think everyone would acknowledge that electricity is
18 the cleaner and more efficient energy vector. And this
19 notion of fuel has been touched upon there, you see,
20 because it's just an energy vector, it's not a primary
21 energy, right.

22 So if it's the cleanest and the most efficient
23 energy vector, then why California would not extend the
24 first priority of the existing loading order, which is
25 an energy efficiency first. Then why not pushing very

1 hard to actually having the processors that are using
2 fossil fuels to switch to electricity.

3 And, of course, and this is possible in effect in
4 the industrial sector, definitely, and in the
5 transportation sector where, of course, it raises the
6 question of we may be building trains, you see. But if
7 you had a high-speed train between Sacramento and San
8 Diego, I'm sure that there would be a lot of cars out
9 of the road or a lot of flights canceled, you see.

10 So pushing this aggressively, you have an effect
11 of increasing the demand for electricity. And this is
12 where it's interesting because you see everything we've
13 been discussing here is very much okay, you cannot --
14 it's difficult to build new power plants, it's
15 difficult to build new transmission lines. So actually
16 go around the problem and try to de-centralize things,
17 okay, and rely a bit on what is at the end of the grid.

18 That actually you find out limitations to this
19 very quickly. And if all of the sudden you have a much
20 larger load to serve, then it can switch paradigm, then
21 it can actually change dramatically the value
22 prepositioned for, well, maybe in building transmission
23 lines that you would not have built otherwise, maybe
24 build power plants. And, of course, build bold Smart
25 Grid projects without any -- see, you can always put

1 that in a nice value proposition for a Smart Grid
2 project, but that would be bold. Okay, so the message
3 here is switching paradigm. Actually, the problem
4 we're trying to solve is that we want to lower the
5 electricity consumption and actually adjusting it by
6 increasing. We might find much better, other
7 solutions. And I know it's a bit provocative.

8 And I'm not going to suggest that you build
9 nuclear power plant, but that's another story.

10 And so how do we avoid repeating the problems
11 experienced during deregulation? That question puzzles
12 me a lot until I decided to give it my understanding.
13 My understanding there is that typically it's really
14 centralized versus decentralized, you see.

15 The decentralization that was put into place was
16 deregulation, allowed to work around limitations of the
17 centralized established system. But actually there
18 really was a threshold when you decentralized, a
19 threshold at which you start to get actually new or
20 more problems, you see.

21 So to summarize, centralized has some
22 limitations, okay, let's do some decentralization
23 around this. That's okay, you jump on this, and you
24 jump on this, and you build on this, and all of the
25 sudden you discover other limitations and maybe, maybe

1 larger problems.

2 And let me give two examples. And that's a bit
3 frightening, that's a very important part of the points
4 I want to make. You see, the first example is
5 security. And you see all the OMI projects going on,
6 security started to be discussed quite late I would
7 say.

8 The project started and a couple of years later
9 started the entire discussion about security, okay.
10 And actually, if you start to - because you can't rely
11 on centralized, that you want to increase the
12 decentralized infrastructure, whether it belongs to the
13 utility, whether it belongs to the customers, that
14 means you're going to have on the ground much, much
15 more equipment.

16 And if you have more equipment actually it lowers
17 the reliability. That's basic engineering. So if you
18 want to increase availability because actually, when
19 you say the grid is not reliable, people really mean it
20 might not be available enough. Therein, to increase
21 availability you actually take the risk of actually
22 decreasing the reliability, which means you increase
23 the risk of failures.

24 And the message here, I'm not against the Smart
25 Grid, I know that, I'm really in favor of that, but

1 that system engendering lessons, you see. If you
2 have burned your fingers on that type of projects, then
3 that's the kind of thing you start to figure out, that
4 count actually is the concept of dependability. And
5 I'm not going to give a tutorial here on dependability,
6 because it's so explained, it's so state of the art,
7 it's well-known in our industry. And dependability
8 actually includes the availability, security,
9 reliability and many other things.

10 And this is really, you see, looking at a project
11 it actually is not just that one project and one
12 utility, it's interesting to look across the chain.

13 Another thing, the example of Cal-ISO success is
14 very interesting because they've succeeded to do
15 something that is really great. This is because maybe
16 they had the capability to work across the chain quite
17 widely. It's not that they solved the technology
18 problem, technology is there, okay. So I would look
19 into the dependability of anything I would try to
20 start.

21 And, of course, while deregulation is bringing
22 freedom to players and of course we hope that is going
23 to benefit to everyone, but the game cannot generate,
24 cannot create its own rules. So extensive modeling and
25 simulation at many different levels should -- if you

1 want to distribute behaviors, you see, if you expect
2 utilities doing things, customers doing things, vendors
3 doing things, hey, let's model and simulate them.

4 By the way, you have a lot of people in
5 universities that have modeling and simulating things
6 that have no economic sense today, if you allow me. So
7 it's possible to do that and that would actually avoid
8 repeating problems experienced during deregulation.

9 Now, and I guess that's the last point, what
10 policy makers could do to make the Smart Grid a
11 reality? Well, the first thing is really -- see, I
12 still don't understand why the AMI and programmable
13 communicating thermostat are not already deployed.
14 Because if you look at what it is, technically, it's
15 nothing, it's nothing compared to a lot of other
16 projects that are envisioned, and it's not on the
17 ground, it's ongoing.

18 So I have no idea here and I'm not trying to --
19 I'm not judging anything. But, of course, the first
20 thing would be to really end this thing quickly, the
21 cues for success from this very simple step, okay.

22 And of course Smart Grid, Smart Grid is just a
23 concept. So to conclude, it can be whatever you want
24 it to be.

25 So and this is the last point, and this is really

1 something that I, over a year ago I had this in mind,
2 that I think there is an absolute necessity to
3 communicate very quickly on what exists already and
4 show a very simple, clear direction on one, two, or
5 three things or goals.

6 See, likewise, the AD. The AD is fantastic,
7 everyone knows it, yet it makes sense, it's not
8 discussed, et cetera, so why not having a kind of
9 likewise a communication thing that for a Smart Grid
10 project there is a kind of immediate reaction, okay.

11 And you see the last bullet is why California,
12 I think California is probably the Smart Grid state.
13 But actually what is missing is the theme park to
14 demonstrate it.

15 And it's half a joke, you see, because there are
16 a lot of people have been able to make hype with not
17 much, actually, a hundred million dollars, you see.

18 So I think it's urgent to build up the nice story
19 that actually assembled already what is in the ground.

20 Thank you for your attention.

21 COMMISSIONER CHONG: Mike, I just have to jump in
22 and say I think the all-or-none gives us the
23 opportunity to build the Smart Grid Disneyland of
24 California, which you're -- you guys, I'm looking at
25 you three. Oh, four of you, four of you.

1 MR. GRAVELY: Thank you. Our final panel
2 member today will be Fred Fletcher, from the Southern
3 California Public Power Authority.

4 MR. FLETCHER: Thank you, Mike. Coming from
5 Southern California, I come from a place where there's
6 a lot of utilities. We are clearly e pluribus unim,
7 one of many. We've got Southern California Edison, Los
8 Angeles Water and Power, and many municipals.

9 But if you're outside, on the national level,
10 we're basically Los Angeles, and that's kind of what
11 they tend to think of us when we go out there.

12 And Los Angeles area, we've done a lot of
13 research, we've done a lot of development over the life
14 of Southern California, and it really comes down to
15 developing products, developing things and getting them
16 done with people, and that's a whole chain.

17 We're all working stronger with our universities.
18 As Paul mentioned, work is going on with the major,
19 pinnacle schools, but we're also taking a look at some
20 of the fine arts schools.

21 I'm talking over with the Art Steinhold from
22 Pasadena. And there's an important element here to not
23 just include the technical stuff, but take a look at
24 the whole experience that people are going to have with
25 this and start looking beyond electric utilities.

1 That kind of reminds me about the commercial
2 they did with orange juice, that it's not just for
3 breakfast anymore. Well, you know, Smart Grid isn't
4 just for electric utilities. When you look around,
5 there's a lot of other things that need the same thing,
6 right in our backyards.

7 For example, we found water meters need to be
8 read. If we can give people in Southern California an
9 idea of how much water they use today, we can help them
10 conserve water at a time when water is going to be a
11 crisis, perhaps for a generation.

12 We know the facility's other applications for
13 Smart Grid is important. Another thing is when we look
14 at how we're going to deploy this, what we're trying
15 for an experiment is we're deploying using Wi-Fi for
16 our medium that goes out.

17 We've covered 30 percent of the city, and this
18 last week we've been doing the initial testing, and
19 with that kind of technology we can reinforce the
20 Zigbee mesh associated with a Wi-Fi mesh. When you put
21 the two together you get a very robust network because
22 you've got two different modulating coding methods,
23 talking like an engineer. But the thing is it does
24 increase reliability and it gives you a platform that
25 you now can use to springboard other technologies,

1 other methods.

2 The water meter, they use a different technology
3 than the electric and we can pull that in faster.

4 The police and fire, you can do things with the
5 police and fire now. At a time when the cities need to
6 find ways to save money, we can find ways to help the
7 city save money.

8 Fit in with the county, it can help put sensors
9 out there so we can watch what the traffic's doing; we
10 can watch where fire might be starting.

11 But there's things the Smart Grid can do that's
12 on the development side and we need to get outside and
13 find some of those new developments.

14 The Emergency Operations Center, there's needs
15 there for how we can best handle and use the
16 information of Smart Grid. The Smart Grid is
17 fundamentally going to be built, solid, secure; it's
18 going to be a network that's got to survive an
19 earthquake. It's going to be a perfect thing to help
20 work with EOCs better. So it's a valuable thing that
21 we see across the entire city.

22 So on the research and development, I see
23 development's the key thing, and that means you've got
24 to work with the businesses, companies that are
25 actually going to build stuff. I spend a lot of my

1 time talking with new companies, how they're going to
2 start off.

3 Well, that moves to the national level. How
4 we're going to do it in the national level, it depends
5 how effective we're able to produce products that other
6 people can use, that other people can replicate in
7 their applications, whatever they may be, because we
8 can't necessarily guess what's going to be important
9 someplace else.

10 But I think the national level is going to be the
11 key in how well we do things that can adopt the
12 standards and can be practical products.

13 On the business of being out there, too
14 aggressive, perhaps we've been too aggressive in
15 emphasizing that we have to put the meters to everybody
16 and everything right away. And maybe there's been too
17 much emphasis on the meters. Smart Grid really was
18 bigger than that, but we focused so much on the meters,
19 I talk about Smart Grid and everybody things, oh, the
20 first thing you do is put meters on everybody's house.
21 And, you know, when I first started looking at this
22 thing, I put 200 meters in Burbank, and I got 55
23 percent of my energy sales covered. And that's not a
24 big risk. And I can sit there and start playing with
25 this and seeing how this is going to work.

1 But this is a big risk if you got to do the
2 whole, all the meters at once. But maybe that one's
3 too big, too far down the road, but it is an aggressive
4 step because you're making a big, huge commitment on
5 something you could be wrong on. But a lot of times
6 you've got to find a way to ensure that risk can be
7 contained, because you can never be sure you're right.

8 Unfortunately, technology has risks, and there's
9 the risk of the unintended consequence. When you go
10 out and do something, I can have it all figured out,
11 but it might be a completed different type of thing
12 than you think.

13 That's one of the nice things about having a lot
14 of municipals working on this stuff and a lot of
15 different utilities, kind of going a little bit
16 different directions, because you reduce the risk, you
17 find out what's going to happen.

18 I know, we've gotten our utilities together
19 recently, and we're talking more, and we're seeing each
20 of us are doing things a little differently. And we
21 know we're learning from one another because they argue
22 it a little bit differently, and we're seeing some
23 things that might work better over here, and maybe some
24 things that maybe we shouldn't be doing here, so it
25 kind of helps us. Because it is a complicated thing,

1 no one has all the answers.

2 Let's see, I look at the Smart Grid thing and say
3 we've got the -- working together with the plug-in
4 hybrids. Plug-in hybrids are probably the biggest
5 change agent to come off here, and they're not going to
6 be a regional thing, they're going to be a national
7 thing. And plug-in hybrids will go in as fast as the
8 price of gas goes up. And they're probably not going
9 to behave quite as well.

10 I was talking this last week with some people, on
11 the plug-in hybrids, and there are people saying, well,
12 we'll just put that into a parking structure and we'll
13 just charge an extra \$5, \$7 to the current bill and tap
14 off the battery when people come in.
15 Well, if they're willing to pay 5 to 7 dollars just to
16 add 5 to 10 kilowatt hours to their stuff, that's going
17 to be really hard to send a price signal to. You know,
18 it's -- it can be really difficult if we're just going
19 to rely on that, when you've got people who are willing
20 to pay \$3 to valet park their car, but paying \$3 to dry
21 their clothes is a crazy thought. Most people don't
22 spend \$20 a day for electricity.

23 And so putting the whole thing in perspective with
24 the whole experience, because once it hits that car it
25 changes the whole thing of how we -- how people relate

1 to money and how they spend money. Maybe that's just
2 a Southern California thing, but I do know that cars
3 are a different type of expenditure than washing your
4 clothes.

5 I think the key thing here is that we have to
6 work together, respect our differences, and try to
7 think through on the business models how we can control
8 our risks, improve value, and hit the synergy.

9 Because as we've seen with Silicon Valley, as
10 we've seen with Hollywood, putting a lot of talent
11 together in one place does help to create new ideas and
12 develop new products and services.

13 MR. GRAVELY: Okay, thank you very much.

14 Now that we've heard from the panel, Commissioner
15 Byron or Commissioner Chong, do you have any comments
16 or questions before I ask any other questions?

17 COMMISSIONER BYRON: Thank you, Mr. Gravely, thank
18 you very much. I'd like to defer to Commissioner
19 Chong, we may lose her shortly, she needs to hit the
20 road. And I was just checking, Commissioner, if you
21 had any questions or comments you wanted to make or if
22 you're going to be staying with us a little longer?

23 COMMISSIONER CHONG: I'm staying longer because
24 it's so interesting. But at some point I do have to
25 get on the road, I have to get up north to Redding by a

1 decent hour.

2 I did have a few questions; I'm just fumbling
3 around for my notes. I think it was this gentleman.
4 Yes, it was Mr. Mohn.

5 COMMISSIONER BYRON: Uh-hum, San Diego.

6 COMMISSIONER CHONG: San Diego, here we go.

7 On your slide five you were talking about we have
8 to have sound policy that can't be manipulated by third
9 parties to their advantage, and I didn't really
10 understand what you meant by that, so I was wondering
11 if you could give me a little more detail on what
12 situation you're talking about and which types of third
13 parties you're talking about.

14 MR. MOHN: The question was pertaining to the
15 period of deregulation where we had, after the fact, we
16 found out through the press that some manipulation of
17 the markets took place.

18 The point that I was making was complete
19 transparency and the ability to allow the market to
20 thrive, both in the retail and the wholesale markets,
21 jointly.

22 I've heard remarks, even today, that if
23 deregulation is considered that we need to protect the
24 consumer, which goes back to the same conundrum we had,
25 if you protect the retail market then the whole sale

1 market really can't work properly.

2 So it had to do with information that was found
3 after deregulation, through the news.

4 COMMISSIONER BYRON: Well, can you - I didn't
5 understand that. What information are you talking
6 about?

7 MR. MOHN: Oh, my understanding is that there
8 were contracts that were made in the whole sale market
9 -

10 COMMISSIONER BYRON: No, no, I didn't mean to go
11 back to deregulation, I'm talking about today, we're
12 talking about the Smart Grid and the information -

13 MR. MOHN: Yeah, the concept was if we look at
14 lessons learned from deregulation how do we ensure that
15 we don't repeat the failures of the past. How do we
16 remain transparent in our means in which we transact
17 the relationship between wholesale and retail markets?

18 COMMISSIONER BYRON: Okay.

19 COMMISSIONER CHONG: Okay, so to fast forward
20 ahead to a Smart Grid, how does that relate
21 specifically to issues relating to the Smart Grid?

22 MR. MOHN: Right now we have jurisdictional
23 issues. We know that, as I stated and a number of
24 other speakers stated, that Smart Grid transcends
25 everything from generation to the consumer, and those

1 jurisdictional boundaries are still a little bit
2 cloudy. It would be great to have clear distinction on
3 how that we can recapture the costs that we incur when
4 they transcend those boundaries.

5 Those are still unclear and we'd like to find out
6 how do we get them clarified.

7 COMMISSIONER CHONG: You talked a little bit, on
8 the prior slide 4, I think it is, about how
9 transmission is a big issue. I got a kick out of you
10 describing San Diego as the cul-de-sac of the electric
11 grid that was awfully cute.

12 But back to transmission, I was just at a House
13 Subcommittee hearing in Palm Desert; where it was 102,
14 let me add -

15 COMMISSIONER BYRON: Was that inside or outside
16 the building?

17 COMMISSIONER CHONG: Luckily, we were inside, in
18 lovely air conditioning at UC Riverside. But when you
19 went outside you could distinctly understand that it
20 was 102.

21 And one of the things that was being discussed
22 there was this jurisdictional issue and one of the
23 things that was asked was whether a Federal backstop
24 authority relating to transmission would be helpful to
25 keep the states or local jurisdictions "on track"

1 towards achieving transmission, particularly for
2 renewable sources. I was wondering if anyone here had
3 views on that?

4 MR. DASSO: Well, this is Kevin Dasso, I can take
5 a shot. That's a risky place to go. I think I'll just
6 offer that we haven't, you know, completely formed our
7 opinion. This is an issue that's obviously playing out
8 at the Federal level right now, there's what, four
9 bills, all of which have some aspect as it relates to
10 Federal backstop, whether it's for planning or whether
11 it's for siting, and so on.

12 Our view is that it's not as simple as just
13 saying the Federal -- the Federal government needs to
14 step in and take that on and address that. I think
15 there are local issues that have to be addressed and so
16 whatever process that exists needs to factor in the
17 local perspective, the local issues.

18 But I think there ought to be accountability in
19 terms of timing, you know, that we can't wait forever
20 for decisions. But that's just, you know, having,
21 designating the Federal government as the lead there
22 doesn't necessarily solve those issues. I think there
23 are probably -- it's more complicated than simply
24 stepping in and designating the Federal agency. That's
25 probably what I'll be able to offer at this time, we're

1 looking at that very issue right now to decide.

2 COMMISSIONER CHONG: Very brave, but wishy-washy
3 answer, Paul, appreciate that.

4 MR. DASSO: That's all I have, I'm afraid.

5 COMMISSIONER CHONG: Mr. De Martini?

6 MR. DE MARTINI: Yes.

7 COMMISSIONER CHONG: You had a statement that you
8 thought the current funding of R&D - the current level
9 of R&D funding was too low for Smart Grid.

10 MR. DE MARTINI: Right.

11 COMMISSIONER CHONG: That's an interesting
12 statement. So do you have a general sense of how much
13 R&D funding would be better in terms of not just a
14 dollar figure, but is it 2X the current amount, is it
15 3X? Should we focus primarily on near-term solutions,
16 but also some on long-term solutions, what would your
17 mix be?

18 MR. DE MARTINI: Well, it's a good question and
19 the way that you phrased it, I think, is the way that
20 we look at it.

21 So first of all, I think you'd have to look at
22 each of the three investor-owned utilities, from the
23 Public Utilities Commission, and each of us have a
24 different level of R&D funding, your know, or not in
25 some cases, and so I think that, you know, the starting

1 point for each needs to be considered.

2 But with respect to Southern California Edison,
3 our current level allows us to do many things that, as
4 I've alluded to, that we've done over the last decade
5 and it's a good base level.

6 However, the challenge is, is that many of the
7 technologies we want to start looking at, that are
8 promising over the decade, like storage, we do not have
9 sufficient funding to be able to support demonstrations
10 of that technology. It starts to get into, you know,
11 tens and 20 million dollar sort of projects.

12 The compressed air energy storage project that
13 we're talking with as a demonstration for the above-
14 ground with EPRI, is a \$26 million project.

15 So even if we're able to get, you know, a 50
16 percent match from the Federal, we need to come up with
17 another 11 or 12 million dollars, or 13 million
18 dollars, in that case, to match that.

19 And that's just one technology, then you have
20 battery storage, and some floor battery technology
21 we're looking at.

22 So if we're able to take on some of these and,
23 obviously, we're working with our colleagues, actually,
24 through an initiative that Kevin and I are part of, to
25 coordinate research and development for the Western

1 Region through the Western Electric Industry Leaders
2 Organization. So we're trying to optimize how we do
3 this across the west but, nonetheless, we still need to
4 do some of these. And the dollar, the price tags start
5 to get bigger as we start to move into demonstrations.

6 When we're in the lab, when we're doing applied
7 analysis, the funding levels that we've had are pretty
8 good. There's more research that needs to be done in
9 the intermediate term to address what several of the
10 panelists had addressed, and I think Mike referred to
11 it as well this morning, in terms of understanding this
12 dynamic on the grid.

13 So as we're looking at renewable integration and
14 I know we've gotten some work out of the PIER program,
15 through Mike, and working with some others on wind
16 studies, but as we start to look at more of this
17 distributed issue, as we look at the plug-in electric
18 vehicle, the distribution system that, in itself, is
19 probably the single biggest area that hasn't really
20 been looked at as much as it's going to need to be in
21 terms of if we're really thinking about aggressively
22 looking at distributed resources as a solution. The
23 amount of work that's needed there in terms of looking
24 at system impact, looking at some of the technology
25 evaluation, both in the lab and then in demonstrations

1 in the field start to get very expensive.

2 Hopefully, the Stimulus money will help, but
3 that's only going to carry us a little bit and we need
4 to look over the next ten years or more. And so I
5 would sort of break it down in five-year chunks,
6 perhaps.

7 So what's the next five years that we need to do,
8 which will be the technology that we implement in the
9 second five years to get us to 2020, what are the
10 technologies that we're looking at that come right
11 after that, looking at about a five- to ten-year
12 horizon.

13 So some of the work that we're doing in talking
14 with the venture capital firms, where they have these
15 ten-year horizons on investments, or what is the
16 technology that's coming in 2021, what's the next set?
17 So that's an early stage, but still needs starting to
18 look at in helping to work, shape the products so that
19 they're effective when they come to market.

20 And then what do we need to be thinking about
21 farther out, which is where we're really looking with
22 some of the university that, you know, touching on what
23 Richard talked about is looking at some of these really
24 complex systems where, if you're having all of this
25 intelligence and you're having all of this information,

1 literally millions and millions of pieces of
2 information, how do you take action on it? How much of
3 that is distributed versus centralized? How do you
4 interact with all of these independent actors out on
5 the system and understand that you can, in a phenomenon
6 world, so that you know that you can maintain a stable
7 grid.

8 So a lot of work to be done and, again, different
9 time horizons didn't you see, the big ones are really
10 the demonstration projects, the dollars there are so
11 much bigger than what we've been able to do in the
12 past.

13 COMMISSIONER CHONG: Well, thank you. It seems
14 to me that because of the big price tag of some of
15 these longer-term projects that there should be active
16 collaboration between the larger utilities or the
17 public utilities, it doesn't matter to me, to partner,
18 and so that one group of ratepayers doesn't bear the
19 burden of particularly the longer and middle term
20 research.

21 MR. DE MARTINI: Right.

22 COMMISSIONER CHONG: That seems sensible to me
23 and also to use some of the national resources towards
24 that and some of the research money, such as the EPRI
25 money.

1 But can I just -- can I just say something
2 because it strikes me that you keep telling me that
3 this is, you know, so hard to integrate and everything
4 is so new, yet I understand there are countries where
5 there is a lot of wind and there's a lot of solar being
6 used right now in that country, yet their operating
7 system of their electric utilities are able to
8 integrate it.

9 There are places where there's a lot of electric
10 cars that are being used and they seemed to have solved
11 how to plug it in, and when to plug it in, and what
12 rate to plug it in at.

13 And so I guess have to say in some areas, not all
14 of them, it seems like there are some things that are
15 going on in the world that we could advance our
16 knowledge or, of course, everybody's system is a little
17 bit different, I understand this, but I don't feel like
18 this is something we can't solve with a bunch of the
19 smartest people in the world right here in the United
20 States, particularly our entrepreneurs.

21 MR. DE MARTINI: I totally agree. We do think it
22 is something that can be solved, it's just it is going
23 to take, you know, it's going to take some effort to do
24 it. That's why we are working very closely with the
25 universities, that's why we formed the consortium that

1 we did, that's why we held the symposium that Richard
2 talked about, that Commissioner Byron spoke at, to get
3 those folks engaged and looking at stimulus
4 opportunities for research. We are looking to work
5 with our colleagues and we are. We're trying not to
6 duplicate projects.

7 And by the way, this effort west-wide includes,
8 you know, the public power folks --

9 COMMISSIONER CHONG: Great.

10 MR. DE MARTINI: -- you know, including SMUD, and
11 so we are trying to share the wealth in terms of what
12 we do. There are some nuances to each system that we
13 have to understand, that's true, but we are trying to
14 leverage everybody that we can in this effort.

15 COMMISSIONER BYRON: You know, Commissioner, it
16 is kind of interesting, this industry does spend a
17 pittance on research. I don't know if it's true or
18 not, but it's a great sound bite, I heard once that
19 we're right behind the pet food industry in terms of
20 what we're spending on research.

21 But it is ironic, as well, that an economic
22 crisis that we're in right now has opened up the
23 Federal coffers for this Stimulus funding that
24 increases, really, on the order of a couple of
25 magnitudes the kind of spending that we've been talking

1 about, certainly through PIER and other research
2 programs that exist in this State.

3 MR. DE MARTINI: Uh-hum.

4 COMMISSIONER BYRON: So it is ironic, but
5 fortunate, that that's the case.

6 MR. DE MARTINI: Yeah, I might add, Commissioner,
7 that it's not slowing us down, so we're moving forward.
8 What we're looking at is to say, okay, if we get
9 through the next five years what do we need to be doing
10 the six through ten? The next five, they're in the
11 pipe and moving. We've got one and a half billion
12 dollars in capital for now.

13 COMMISSIONER CHONG: That's right. But isn't the
14 challenge, Paul, when you bring those types of things
15 before the PUC, our consumer groups say, hey, you know,
16 we don't want to fund this.

17 MR. DE MARTINI: Right.

18 COMMISSIONER CHONG: Is it cost effective? It's
19 too far out, it's too innovative, it's too risky.

20 MR. DE MARTINI: Right.

21 COMMISSIONER CHONG: That is the type of thing
22 that we shouldn't have ratepayers paying for. So how
23 do we marry that up? And that's why I think these
24 collaborative efforts, particularly on the larger
25 scale, are the way to do it, and that we need to have a

1 new paradigm to understand that in the Smart Grid
2 area technology is going to be moving a lot faster than
3 traditionally it has. So accelerated depreciation, all
4 those issues, I get that.

5 Because in Telecom, for example, everything goes
6 along about every two months.

7 MR. DE MARTINI: That's right.

8 COMMISSIONER CHONG: And so depreciation's at
9 about three years and that's a heck of a lot better
10 than whatever you guys have, which I think is like 15
11 or something, really high.

12 MR. DE MARTINI: Seventeen.

13 COMMISSIONER CHONG: Okay, I have one last
14 question, and I do beg Commissioner Byron's indulgence,
15 I know I'm asking a lot of questions, but I do have to
16 go.

17 Mr. Schomberg, you talked about working on the
18 intelligence, itself, for the system, and I was
19 wondering if you meant things like artificial
20 intelligence, that type of intelligence, or in what way
21 did you mean that?

22 MR. SCHOMBERG: Well, it could be very basic
23 intelligence. Actually, I believe in layers of
24 intelligence which, of course, we are just at the stage
25 of having, well, sensors, actuators, and you add ears

1 and eyes everywhere, and yet it could be the ability
2 to react. That's maybe what the dinosaurs were able to
3 do, right.

4 Now, if you add one layer, it could target a
5 specific value. It might involve maybe not in an
6 artificial intelligence, it can just involve working
7 involving different databases that are nontraditionally
8 associated to some type of operations.

9 Now, this is where the use case approach of the
10 AMI projects, see the AMI projects, that's a very
11 interesting example, where the meters are just the tip
12 of the iceberg. An incredible effort has been done in
13 California that actually, I would say, is driving the
14 world on this. And actually, I have to confess, I took
15 this methodology and I had it rated as an international
16 standard, so it exists and a lot of people in the world
17 are following this.

18 So the use cases, you go through the analysis of
19 the business processes cross-cutting the entire company
20 and this is where you can identify real value streams,
21 okay. Then you work on the technology, you put in
22 place infrastructure, but that means that this analysis
23 has been done. And assume this infrastructure is in
24 place and worked, then you can just have to add layers
25 of intelligence. And, of course, if there is any

1 artificial intelligence that is available, that's for
2 sure we'll be even more excited.

3 MR. GRAVELY: Thank you.

4 COMMISSIONER BYRON: I don't think we're done
5 with the panel yet, but I have a feeling that we're
6 losing Commissioner Chong, at least from today.
7 Commissioner, we're fortunate to have you on the PUC,
8 but we're also fortunate to have you here today. Drive
9 safely.

10 COMMISSIONER CHONG: Well, I would like to thank
11 everybody who came today, it's a great audience, and
12 also those out on the Webinar. I'm sorry to miss the
13 last panel, so I hope you take good notes,
14 Commissioner.

15 COMMISSIONER BYRON: I don't think we're done
16 with this panel, yet, are we? How much more time do we
17 have.

18 MR. GRAVELY: We have a few questions from the
19 audience and from WebEx that I'll handle, and then so
20 I'll give them a chance to do that and then there may
21 be other questions.

22 COMMISSIONER BYRON: How much more time do you
23 think, Mike?

24 MR. GRAVELY: About ten minutes, and then we're
25 going to have a short presentation by DOE.

1 COMMISSIONER BYRON: All right, good.

2 MR. GRAVELY: So do you have any questions?

3 COMMISSIONER BYRON: A couple quick questions, if
4 I may?

5 MR. GRAVELY: Sure.

6 COMMISSIONER BYRON: Mr. Dasso, I should say that
7 this gentleman and some of you in the audience serve on
8 a Research Advisory Committee that we have at the
9 Public Interest Energy Research here, at the Energy
10 Commission, and I actually have the privilege of
11 chairing that group. So we deal a lot with these kinds
12 of issues about three or four times a year.

13 And so the synchrophasers, and the kinds of
14 control, and information technology that exists at the
15 higher transmission we deal with on a regular basis.
16 And I think we'll be getting into that some more
17 probably tomorrow.

18 But I can't help but ask, Mr. Dasso, you put up a
19 picture of a Smart Meter. Where was the customer
20 connection with that Smart Meter? Was it behind the
21 meter? I mean, it's not just the energy, clearly
22 there's information that that's gathering, how does the
23 customer get that information?

24 MR. DASSO: Well, I think that's the -- the
25 microphone's on, okay. That is really one of the

1 benefits of the Smart Meter that we're deploying
2 today is that it has the capability, it has the
3 capability to do or support communication with the
4 customer through a home area network kind of an
5 arrangement.

6 So it is really the portal, it's kind of the way
7 in which we can -- it's kind of the entrance into the
8 customer's panel, the new -- into the customer's home.
9 The new meters have that capability, whereas before it
10 was just reading a meter remotely. We now have the
11 capability to do that.

12 COMMISSIONER BYRON: So the meter has an innate
13 protocol?

14 MR. DASSO: Yes.

15 COMMISSIONER BYRON: Very good, thank you. You
16 know what, I'll skip the rest of my questions because I
17 want to make sure we get the -- I see you have a stack
18 of them there. Go right ahead, Mr. Gravely.

19 MR. GRAVELY: Okay, so I'm going to take a few
20 questions. Many of these are from the WebEx today. So
21 this is from a David Erickson and this is for the panel
22 in general here, and it says, "given the vested
23 interest by the utilities in preserving revenues from
24 transmission how can the Smart Grid development be
25 incentivized to reduce dependence on transmission and

1 focused on more distributed renewable resources?"

2 So anybody who chooses to answer that?

3 MR. MOHN: I can offer one that actually,
4 probably, echoes quite a bit of what Paul and Richard
5 were saying. We really want to introduce distributed
6 resources into the edge of the grid, but it's a real
7 challenge in that most people who know how electric
8 distribution is designed, it's radial in nature, and
9 because of that the ability to create a self-healing
10 grid, which is a reroute of power flow at the edge, and
11 using those resources requires not only intelligence to
12 switch the power, but the control systems and the power
13 lines to allow that power to flow. A lot of that
14 doesn't exist.

15 So, certainly, it's one of the areas that we want
16 to explore, SDG&E, as to pretty large projects right
17 now, designing micro-grids, where we bring a community
18 who has, a customer who actually owns the assets,
19 another program where the utility owns the distributed
20 assets, trying to understand how does that mix of
21 technologies, plus redesigning the grid actually work,
22 and what are the important things that we need to
23 introduce.

24 But those are, you know, you can imagine where
25 you have hundreds or possibly even thousands of radio

1 lines where the investment is going to be quite
2 large, even in comparison to central generation.

3 MR. DE MARTINI: Yeah, I think from Edison's
4 perspective, it's not a question of either/or, this is
5 not mutually exclusive and we anticipate that there
6 will be as much centralized large renewable development
7 and, likewise, there will be quite a bit of
8 decentralized distributed renewable development, as
9 well as absolutely ongoing work that we do in support
10 of the State goals for energy efficiency and demand
11 response at the customer side.

12 So we actually see both developing. The question
13 is, you know, to what level of distribution or, you
14 know, distributed resource are we talking about. At
15 some level, as Terry said and I said in my remarks, it
16 becomes increasingly more complex. But that's not to
17 say that you couldn't have distributed resources at the
18 substation level or at a larger level on the
19 distribution.

20 And in point in fact Southern California Edison,
21 and I believe my colleagues in the State have also
22 pursued similar large solar, rooftop programs, for
23 example, that are basically distributed resources on
24 the distribution system in fairly sizeable amounts.

25 And so we are anticipating that those

1 developments will occur, we're expecting the same
2 with energy storage as that develops, and so that's
3 part of some of the demonstration projects we're
4 looking to support.

5 MR. GRAVELY: Okay.

6 MR. DASSO: If I can just add, this is Kevin
7 Dasso, with PG&E; there are things we can do in the
8 short term as it relates to a Smart Grid. We, in our
9 service area, have something on the order of 30,000 PV
10 generation devices in our system; we think the largest
11 in the U.S., certainly. Unfortunately, we have no idea
12 what they're doing. We know how they have affected the
13 customer's meters once a month. We think it would be a
14 lot more helpful to understand what are they actually
15 doing today that could be informative to our operators
16 and to our purchasers today.

17 So I think getting information about those
18 existing devices, getting information about those
19 devices as they are deployed is something that the
20 Smart Grid, even as we see it today, could support.

21 MR. GRAVELY: Okay, thank you very much.

22 The next two questions are fairly simply and I
23 think they're very quick, but I want to ask them. One
24 question is in my presentation I showed how GPS and the
25 timing was used for synchrophasers, so the question is

1 "does the Smart Grid use GPS within the system or are
2 there other applications within the Smart Grid that you
3 envision GPS being part of the system?"

4 MR. DE MARTINI: GPS and, you know, just in
5 general, geo-spatial information is going to be an
6 important element. It already is, I think increasingly
7 so, in the utility operations. But as we start to have
8 a better idea of where all the assets are and being
9 able to track the location of assets with, for example,
10 just being able to map, you know, very accurately,
11 which customers are off of what transformer, off of
12 which circuit, as circuits switch around, as Terry
13 mentioned, which happens frequently on distribution,
14 being able to know where that might be and where
15 they're being fed helps us to be able to triangulate
16 things like outages and other events.

17 Certainly, linking this dynamically with in the
18 case of potentially wildfires and how those assets, you
19 know, tie into understanding where the path of the fire
20 is so that we can be more responsive.

21 Another thing we're looking at right now is just,
22 you know, how you look at this in terms of analysis,
23 with things like adoption of plug-in electric vehicles
24 and the like, and being able to understand how those
25 penetration rates may map to the assets that you have

1 out in the field, being able to understand what that
2 dynamic looks like.

3 So is it the end-all/be-all? No. But there's
4 certainly elements, like it does in the phaser,
5 provides a key piece of information that helps us
6 really make a lot of the rest of it work very
7 effectively.

8 MR. MOHN: I'd like to add that -

9 MR. FLETCHER: Okay, it's -

10 MR. GRAVELY: Speak into the mike.

11 MR. FLETCHER: We're using GPS to coordinate time
12 on all of our stuff and incorporating propagation
13 delays through the network, so that when the stuff gets
14 to the meters and to the other end it is all time
15 coordinated.

16 And like Edison, we run everything on - we have a
17 GPS for every - we have a location, XY&Z, on our GIS
18 system for all of our meters, as well as building
19 onlines, and location of all of our assets are in XYZ.

20 MR. GRAVELY: Okay.

21 MR. MOHN: The remark that I was going to make
22 was the same one that Fred made. Every one of our new
23 electric digital meters that are being installed are
24 geocoded using GPS.

25 MR. GRAVELY: Okay, thank you very much.

1 One final question for this panel right now is,
2 and it's actually specific for you, Richard, "a
3 question for EDF, could you please repeat your
4 statistics on the degree of which AMI and PCTs are
5 already deployed?"

6 MR. SCHOMBERG: Well, we have - so Richard
7 Schomberg from EDF. So I guess the question's specific
8 to EDF?

9 MR. GRAVELY: Yes.

10 MR. SCHOMBERG: Right, and so I will make an
11 answer for EDF in France, which is that we do have 35
12 million meters under deployment, that's mostly is - but
13 we already have 10 million meters that are solid state,
14 that we have had this for many years now, actually 10
15 years, because we started to replace one million a year
16 in electronic meters.

17 And there is a direct load control system,
18 actually, very, very simple, that allows to trigger the
19 electric regulator at night, every night at 10:00 p.m.,
20 which allows actually to store energy in the electric
21 regulator of 10 million homes, which is the equivalent
22 of 20 nuclear power plants. And then we have 60
23 nuclear power plants. And so actually every night, at
24 10:00 p.m. through those meters, and just at the
25 deployment level of I would say 10 million of solid

1 state meters, we store one-third of our nuclear
2 power.

3 MR. GRAVELY: Okay, thank you very much.

4 For the panel, just for logistics, if you would
5 stay here for a few more minutes, DOE has offered to
6 give us a few comments from the policy side and from
7 their perspectives on Smart Grid.

8 So Dr. Peter Karpoff, who was coming and he
9 pleasantly agreed to give us some comments and maybe
10 answers some questions, we'll see.

11 COMMISSIONER BYRON: Great.

12 MR. GRAVELY: He's going to talk to us a little
13 bit from the DOE perspective.

14 COMMISSIONER BYRON: Welcome, Dr. Karpoff. And
15 if I may say, you've heard a lot of presentations about
16 how California's a leader and how we're really pushing
17 the envelope on Smart Grid technology, and we are
18 spending money on research and development, but I hope
19 that in no way lessens the amount of Stimulus funding
20 that the Department of Energy invests in this State.
21 In fact, quite the opposite, we hope that we can
22 provide the kind of leadership that you're looking for
23 throughout the country.

24 DR. KARPOFF: That adjustment will depend
25 entirely on the questions that may be raised after.

1 COMMISSIONER BYRON: They will be very nice
2 questions, I assure you.

3 DR. KARPOFF: No, let me say at the beginning, I
4 have no personal role in the distribution of those
5 funds.

6 But I heard Mike say this morning that the DOE
7 participant was a no-show or regrets, or something, and
8 I'm thinking, well, I'm from DOE, I'm sitting here in
9 the audience, do I raise my hand or not? And I
10 thought, well, I ought to at least wave the flag a
11 little bit for the Department and contribute just a bit
12 about what's going on with regard to these important
13 topics that have been discussed here today.

14 DOE is certainly vitally interested in Smart Grid
15 development. And in the person of our new Secretary,
16 Steven Chu, a Californian, no less, and with great
17 links into the laboratory system, he's a hands-on,
18 pretty smart guy, and he's given us some marching
19 orders. He's interpreted the President's positions to
20 put a priority on recession recovery, on reducing oil
21 imports, and on climate priorities.

22 So you bring those things together and look at
23 them from an energy perspective and it's not too hard
24 to think what that tells you. I mean, what it really
25 means is we're interested in Smart Grid and efficiency

1 for all the reasons Commissioner Chong stated this
2 morning, but particularly efficiency in all its various
3 forms, through the grid where possible and through
4 other means where the grid isn't really the answer.

5 Carbon reductions, which means bringing in
6 renewables to the maximum extent possible, connecting
7 them through the grid, all set in the intermittent
8 aspect of many of these renewables, either through
9 aggregation of many types of renewables or through
10 storage, as many of the people here on both panels,
11 actually, today have described.

12 Certainly, there is an issue of electricity
13 reliability that comes in through the grid and the
14 Department's budget for the year 2010 makes a
15 tremendous increase in the amount of resources devoted
16 to grid activities.

17 And let me just read some of the dollars that are
18 involved here. Specifically, for grid modernization,
19 as part of revitalization of the Nation's energy
20 infrastructure, the DOE fiscal 2010 budget requests
21 \$174 million, which is a doubling of resources from
22 2009.

23 However, this money is directed towards research
24 and development that improves the reliability,
25 efficiency, flexibility, and security of the Nation's

1 electricity transmission and distribution systems.

2 Now, to me that sounds very much like a beefing
3 up and hardening of the existing grid, and it's not
4 really directed specifically, by that language, towards
5 the Smart Grid aspects that we've talked about here.
6 That is the two-way communication, the opportunity to
7 really optimize so many things that are not yet
8 optimized on our grid.

9 Then it goes on and it says building a Smart Grid
10 that integrates state-of-the-art technology is critical
11 to effectively using renewable energy sources and
12 creating new jobs. Now, there's no money attached to
13 that statement.

14 Then there's a third statement that says these
15 investments build on the Recovery Act investments to
16 modernize and secure the grid, which is again back to
17 this heavying and hardening of the grid, and the
18 Recovery Act provides \$4.5 billion and these are, I
19 believe, for conductors, and towers, and all sorts of
20 hard stuff that goes into our existing type grid.

21 So I think it's incumbent on the industry and
22 people here on this panel, to my left, to really make
23 the case that there's an important area of expenditure
24 for Smart Grid that's really distinct from conventional
25 expansion of the existing grid. And certainly, the

1 door is still open for those sorts of adjustments and
2 this is only a proposed budget from DOE that I'm
3 talking about and reading about here. So that the
4 opportunity still exists, I think, to make the pitch
5 that there's much more to Smart Grid than just doubling
6 up the conductors, or building parallel sets of towers,
7 or creating links where they're not effective links at
8 present. There's much more to be done and a voice
9 needs to be raised in favor of all that.

10 On the question of technology, Secretary Chu has
11 established a goal of establishing eight energy
12 research hubs. He's spoken of these things as lablets,
13 essentially small labs. They'd be far less
14 comprehensive than the existing national lab system.
15 Each would have a specific mission and they would have
16 -- they've identified eight areas in which these
17 lablets would operate and one of them is --let's see, I
18 really should have brought my reading glasses -- the
19 initial set of research hubs will explore the following
20 topics, solar energy, fuels from sunlight, batteries
21 and energy storage, carbon capturing storage, grid
22 materials, grid materials, devices and systems, energy-
23 efficient building system design, extreme materials,
24 and modeling and simulation.

25 Now, these lablets are not necessarily a new and

1 novel idea. Yesterday, I made a visit to the
2 California Lighting Technology Center, at UC Davis, and
3 my thought after a 30-minute presentation there was
4 that these guys are the poster child for these lablets,
5 it's going on already. That place was started with
6 some seed money from Department of Energy, but
7 Department of Energy has basically ignored them since
8 the initial planting of that seed, and these guys have
9 done some fantastic things with some very limited
10 resources.

11 They have some partners, affiliates, including
12 SMUD, I might add, whose logo was prominently displayed
13 on their paperwork. But with a few students, I think
14 not more than two dozen students; they have come up
15 with some terrific ideas. They give examples of a
16 produce warehouse where they had lighting inside this
17 place, they open the door, no one's inside, and nothing
18 but strawberries in there on pallets, and the lights
19 were on. And they said, well, why do you need lights
20 in here? And they said, well, nothing goes on in here
21 much except every once in a while a forklift operator
22 comes in and he moves around some pallets, puts in new
23 stuff and takes out the old.

24 And so they came up with the idea of dimming the
25 lights to 20 percent of their intensity and mounting a

1 whole bunch of light bars on the forklift. So now,
2 when the forklift comes in the guy can see whatever it
3 is he wants to work on and they're saving, I don't
4 know, hundreds of dollars a month on the illumination.

5 They had another example where they're working
6 with the National Park Service, and there they
7 suggested dimming the illumination at night, security
8 illumination primarily, dimming it at night and having
9 motion sensors that would increase the illumination
10 when somebody was detected around the place.

11 And at first the police who were in charge said,
12 oh, no, it's not going to be very good, too dark to see
13 when there's nobody around. And they used it, they
14 tried it for a month or two and they said, you know,
15 actually it's better. When the lights are dim we
16 figure there's nothing going on, we don't have to worry
17 about it. When the illumination comes up, that means
18 something's going on and we should take a closer look.

19 So here they're saving electricity on the overall
20 lighting of this situation and, at the same time,
21 they're really getting an improved level of service.

22 Well, that's an illustration of what a little
23 brainwork directed towards these problems can really
24 do.

25 Then today I had a meeting with the Renewable

1 Energy Institute, over here at the old McClellan site
2 and these guys over here, on a shoestring, are
3 developing some very interesting technologies for
4 renewables to produce, actually, liquid fuels from kind
5 of waste streams, basically, construction junk that has
6 a lot of wood in it. They can use municipal waste
7 streams, but for some reason they don't like that quite
8 so much. They have a project to use agricultural waste
9 and they're producing liquid fuels and generating some
10 electricity from that.

11 So there are all kinds of ideas out there and I
12 know that the Department of Energy is interested in
13 promoting these things. And I'm going to back home to
14 Washington and suggest that some people from there come
15 out and see some of this stuff, firsthand, to see
16 what's going on.

17 But I would also encourage the Commission, both
18 Commissions here, and the utility reps to really try
19 and be open-minded about some of these things. And we
20 recognize that the utilities have tremendous invested
21 capital here, and it's a delicate system and needs to
22 be carefully managed, and even conservatively managed,
23 and sometimes the Commissions have a tendency to go a
24 little slow on important changes.

25 But I would just encourage that everyone here on

1 the scene be open-minded, where possible, and get
2 out and see what some of these alternatives are and see
3 if some of these things can be brought in, under
4 controlled circumstances, to contribute to the
5 renewable energy targets that everyone's working under
6 to help reduce oil imports, to help boost efficiency.

7 And we think, importantly, as a national
8 priority, some of these things will create some jobs,
9 both in installations and development of these things.

10 So without wanting to intercede in what's a great
11 program here, that the Commission has planned, I just
12 wanted to add these things and not have DOE show up as
13 missing in action, or missing in inaction, as the case
14 may be, and wanted to contribute those thoughts.

15 Now, I'd be happy to respond to a couple of
16 questions, if that meets with the Commission's time
17 schedule, but I don't want to delay things that you may
18 have planned.

19 COMMISSIONER BYRON: I would defer to my panel.
20 Do you have any questions for the gentleman from DOE?

21 You know, I think we're probably about the end of
22 this panel. I thank you very much for joining us and
23 for carrying the flag. We do not think DOE is missing
24 in action. We know they're very busy.

25 I caught an article this morning, I would just

1 like to share a brief excerpt, it's from Energy
2 Washington Week, the title is major grid -- excuse me,
3 "Major Groups Assert DOE Smart Grid Grant Program Too
4 Restrictive," identified a number of letters that have
5 been written in response to the NOI. It cited one in
6 particular from the Department of Energy Secretary, Dr.
7 Steven Chu, and the Office of Management and, I think
8 it was - yes, it was to both Dr. Chu and the Office of
9 Management and Budget, Peter Rosen.

10 And everybody is going after all kinds of
11 corrections that they're looking for, and I was quite
12 encouraged the \$20 million cap is one that everybody's
13 identified. We want to make sure that the NOI is
14 correct in allowing Department of Energy to select the
15 best and the brightest of these opportunities.

16 I think I'll stop there. I want to thank our
17 panel very much. Thank you, gentlemen, for coming up,
18 particularly from Southern California, appreciate very
19 much your comments.

20 And I'll turn it back to Mr. Gravely. I think
21 we're going to take a break, is that right?

22 MR. GRAVELY: Yeah, we're going to take a ten-
23 minute break here, if we would, and then come back and
24 we'll put the other panel up, and we will hear from the
25 industrial manufacturing view of the world. Thank you.

1 About ten minutes, make the break about ten minutes.

2 (Off the record for a ten-minute break.)

3 MR. GRAVELY: So we're now going to go into the
4 industrial manufacturing panel, and understand from an
5 industry perspective the challenges of a Smart Grid,
6 the opportunity of a Smart Grid. For this particular
7 panel one of my individuals, who works in our office as
8 a consultant, Ron Hoffman, who's very actively involved
9 with industry, and he arranged this panel, and so I'm
10 going to ask him to moderate this panel because he
11 knows the topic much better than I and he knows the
12 players much better. So Ron, I'm going to turn it over
13 to you.

14 MR. HOFFMAN: Thank you. Good afternoon. I
15 think from seeing the last panel, you sort of
16 understand how we're going to run this panel. It's
17 going to be almost identical, different group of
18 people, the same questions that you saw before but from
19 a different perspective.

20 In the previous panel you heard a very specific
21 utility-centric point of view, a very necessary point
22 of view because they run the grid. And in this panel
23 we're trying to get sort of a consumer-centric point of
24 view as described by the vendors that provide
25 technology and equipment for consumers and for the

1 utilities.

2 So we have a great group of panelists and I've
3 asked them each to spend something like five to seven
4 minutes with opening remarks, addressing some of the
5 questions that the utility panelists addressed. And
6 then we will open it up to questions after that.

7 So and our first speaker will be Mike Brown from
8 GE Communications.

9 MR. BROWN: Good afternoon, everyone, it's my
10 pleasure to be here this afternoon visiting with
11 everyone regarding such a dynamic and exciting topic as
12 our industry continues to progress towards what we're
13 all looking at, is a Smart Grid.

14 And I think what's interesting out of this is
15 that with all the technologies that are available and
16 the solid sound network that we have throughout our
17 electric delivery system, I'm very fortunate to have
18 the opportunity to work with utilities around the
19 globe. And the ball's and the implementation of what
20 we're doing with Smart Grid here in the States and
21 again, specifically relating to California, has got a
22 great deal of interest to utilities from the Asian
23 continent, to Europe, to Africa, to Australia. There's
24 many utilities looking at what's being done here in
25 California, alone.

1 You know, what's important with understanding
2 the Smart Grid? A lot of discussion and what we see in
3 the marketplace is a lot of buzz and a lot of interest
4 specifically relating to what the consumer's seeing as
5 far as the information available to them.

6 And not to downplay the important of that, but
7 the electric -- the Smart Grid, and what it means to
8 the consumer is electricity reliability, and making
9 sure that we have electricity available at a cost-
10 effective measure and one that
11 is -- one that is consistently available to the
12 consumers.

13 In looking at the Smart Grid one of the important
14 factors is the communications back-home, back-home
15 networks. As we're looking at the Smart Grid, we
16 certainly need to understand how we're going to
17 information-enable all these assets so that we can
18 monitor and control each one of those assets out there
19 to ensure reliability and ensuring cost-effective
20 measures.

21 You know, in looking at the communications
22 infrastructure for the Smart Grid, we look at self-
23 healing aspects of the network infrastructure and what
24 that means as far as the self-healing aspect of the
25 electric delivery system.

1 Certainly, whenever we start looking at
2 distribution automating ensuring that through rerouting
3 mechanisms in the electric delivery system that the
4 intelligence and the communications infrastructure is
5 there for those automation devices to make those
6 intelligent decisions.

7 Certainly one that is a communications
8 infrastructure that is interactive, you know, enabling
9 the two-way communications with the consumers, enabling
10 communications to the utility to make real-time
11 decisions in relationship to demand response concerns
12 there.

13 Optimized and certainly a one that is very
14 important is the security-sentrics around the Smart
15 Grid communications network, one that is predictive.
16 Distributed with the information enabling of these
17 assets there are tens of thousands and, in many cases,
18 millions of devices within a utility infrastructure
19 network that need to be monitored or used as leverage
20 for control assets and, importantly, one that is
21 integrated.

22 With the infrastructure that we currently have
23 within our utility system is one that we can leverage
24 existing private infrastructure, whether it be from
25 communications to network management tools, to

1 operation control centers as well.

2 In looking at the communications infrastructure
3 for the utilities and one we find is of utmost
4 importance here is understanding that this
5 communications infrastructure starts at the generation,
6 through transmission, through distribution,
7 substations, all the way through distribution
8 automation for pole-mounted assets, pad-mounted assets
9 and, in many cases, vault locations.

10 We also have AMI infrastructure throughout the
11 residential and the industrial facilities. And again
12 one that is continuing to evolve is through distributed
13 generations.

14 What's important with this is for our utilities
15 to be able to monitor and control, having the
16 additional capacity for future demands on this
17 communication system that may consist of fiber
18 infrastructure, as well as wireless infrastructure.

19 Certainly, to the gentleman's point earlier is
20 reliability. And at the utmost part of that is the
21 dependability of a network infrastructure, one that --
22 really, one of the things that we've seen through the
23 infrastructure, communications infrastructure with our
24 utilities throughout the Gulf area, whenever the
25 hurricanes have hit over the last ten years, is the

1 availability of a private infrastructure. For most
2 utilities it remained intact and on a large percentage.

3 The ease in manageability, being able to
4 maintain, being able to diagnose causes and faults
5 within a network are very important.

6 The encryption authentication, I can't stress
7 enough the continued need for continued cyber security
8 mechanisms and specifically related to our Federal NERC
9 CIP requirements.

10 One of the things that I, you know, work with
11 many utilities on is understanding what the network
12 demands are for now and also for the future. One of
13 the things that we see is the continuing evolution of
14 new wireless communication networks and
15 infrastructures, but we need to understand what the
16 importance of those critical assets are. And one of
17 the things that we do see is that not one technology or
18 not one single network will handle every aspect of the
19 electric utility on the grid.

20 And that's why open standards have to be, in some
21 cases, mandated and reassure that vendors are working
22 with our utilities to implement systems that are based
23 upon open standards, ones that are future proof, ones
24 that support our legacy systems, whether it be through
25 telemetry protocols, such as DNP-3, or the IEC 61850

1 are all important factors, and ones that are not
2 only just leveraged here, in the State of California,
3 but nationally and around the globe.

4 One of the biggest things that we see as a need
5 within the communications infrastructure is the ever-
6 increasing need for frequency spectrum for our wireless
7 networks. With the millions of devices through
8 metering, the distribution automation devices with tens
9 of thousands of devices, the ever-increasing demand
10 that we're putting on our communications networks with
11 the substations for protection and control telemetry,
12 and very bandwidth-intensive applications around video
13 security, where the private infrastructure networks are
14 at capacity in some cases there. And they're limited
15 by the frequency availability and the limitations that
16 the SEC has put on the manufacturers.

17 One of the things that is very important with the
18 communications build-out is the cost-effectiveness for
19 wireless communications.

20 If you haven't had the opportunity, United
21 Telecom Council had published a document back in
22 January, earlier this year, that called for the
23 critical need for spectrum for our utility space, and
24 one that I would encourage each of you to read.
25 There's spectrum availability but it's coming at a high

1 cost, and a cost that is only available to the
2 commercial networks out there.

3 What we need from our policy makers and from D.C.
4 is to recognize that this limited spectrum
5 availability, ones that are protected, be recognized
6 and support the efforts of members, like UTC, to find
7 spectrum availability specific to our utilities.

8 One that we really ought to take note of and look
9 at, and understand a wide success is moving forward is
10 Industry Canada. Industry Canada is very close to
11 finalizing plans for a 1.8 gigahertz dedicated spectrum
12 for the utilities across Canada. And one that GE
13 Communications, as well as UTC is a very big proponent
14 of is trying to look at what the feasibility is for
15 supporting that same bandwidth in the United States,
16 supporting it across the entire organizations there.

17 So addressing additional communications needs is
18 the cyber security. We can't stress enough the
19 parameters set by the NERC-CIP requirements,
20 understanding what those cyber assets are.

21 To reiterate, the need for frequency spectrum,
22 supporting of the 1.8 band for example, and support of
23 UTC and, again, the open standards. The importance of
24 this is the legacy support for our systems that exist
25 and for the future.

1 Thank you.

2 COMMISSIONER BYRON: Thank you. I note GE's
3 well-represented on that panel. But, you know, I think
4 we all owe a certain debt of gratitude to General
5 Electric, and I'm sure you've all seen your Smart Grid
6 ads, you know, "if I only had a brain." I think it's
7 really raised public awareness around this issue and
8 maybe expectations have been raised, too. So thank
9 you. Go right ahead, Ron.

10 MR. HOFFMAN: So our next speaker is Eric Hsieh,
11 from NEMA. And you don't have any slides?

12 MR. HSIEH: Do I speak from here?

13 MR. HOFFMAN: Yeah.

14 MR. HSIEH: So my name is Eric Hsieh, I'm the
15 Energy Policy Infrastructure Manager for the National
16 Electrical Manufacturers Association. We are a trade
17 association that represents over 400 manufacturers and
18 we are also an ANSI-accredited standards development
19 organization. We have over - we have several dozen
20 ANSI-approved power equipment standards, including the
21 NCC 12.9 and 12.22 metering standards.

22 So I echo the sentiments that the earlier
23 speakers have made on the need for a national approach
24 and the need to follow up on standards. And so given
25 that those points have been made for me, I'd like to

1 concentrate on one particular question, which is how
2 do we avoid the problems of deregulation?

3 The policies and market rules need to reflect
4 physical laws and financial innovations. I'm certain
5 market failures in the late 1990s, in California, were
6 facilitated by rules that prioritized societal goals
7 above engineering and market realities. So, for
8 example, rate caps for consumers co-existing with
9 market-based wholesale prices, and the lack of pricing
10 opening up arbitrage opportunities.

11 The regulators couldn't think to outlaw every
12 questionable behavior in advance so you saw a lot of
13 gaming that took place before those things were shut
14 down.

15 So let's walk through a hypothetical example at
16 the end-user level, and I would rephrase the question
17 as what if end-users were as crafty as an Enron trader?
18 All right, so let's say there's an opt-in mechanism, as
19 discussed this morning, where individuals can choose to
20 receive a rebate of, let's say, a dollar a kilowatt
21 hour for reductions below a baseline during a critical
22 peak period. I can play games with the baseline, but
23 the much more basic arbitrage mechanism is an extension
24 cord.

25 So let's walk through the payback. Okay, so

1 let's say I get a \$1 per kilowatt hour rebate for
2 turning off my AC unit when instructed. My neighbor
3 chose to opt-out of the program and he pays a flat 20
4 cent per kilowatt hour rate. So when instructed to
5 reduce, I simply switch over my AC's power to my
6 neighbor's power supply during the peak time, so the
7 utility will sell low to my neighbor, for 20 cents, and
8 buys high for a dollar from me, for the same amount of
9 energy. The neighbor and I now have 80 cents to share
10 in profit, even though the total energy consumption
11 remained the same.

12 Okay, does that make sense?

13 COMMISSIONER BYRON: I'm taking notes.

14 MR. HSIEH: Now, lest you think -

15 COMMISSIONER BYRON: Who said that? Who said
16 that?

17 MR. HSIEH: In case you're wondering why our lab
18 is coming up with these interesting scenarios, perhaps
19 I'm doing this on behalf of my extension cord
20 manufacturers. But actually, back in 2005, there was
21 an instance of suspected market manipulation at the
22 CAISO borders, where market rules provided big or
23 better payments for energy.

24 So there was this very large market participant
25 submitting massive amounts of offsetting increment and

1 decrement bids at the CAISO interfaces. They were
2 both clear and the entity would essentially run a
3 virtual extension cord around the interfaces around
4 California, and be paid for not supplying much energy.

5 In case you want to read more about these
6 strategies, the docket number at FERC is IN05-8.
7 You're looking for the staff reports dated September
8 2005. While I'm the Government Relations Manager for
9 NEMO, I used to be known as "staff familiar with the
10 issue."

11 So how does California prevent such manipulations
12 with a Smart Grid deployment? Oh, I would say ensure
13 that rates reflect engineering reality and beware of
14 any kind of artificial construct designed to protect
15 certain classes of players. And now, I know there's an
16 equity issue here and I'll address that.

17 So in this example, I was on the critical peak
18 pricing program while the neighbor was on a fixed rate.
19 So the opt-in and out policy in this case is assigning
20 different values to electrons in very close electrical
21 proximity. But physical congestion at the neighborhood
22 level is unlikely so there's no real engineering or
23 economic justification for pricing these electrons
24 differently.

25 Now, if their policy goal is avoiding burdening

1 people with generating too many rates, that's fine.

2 It's fine for a policy concern to override electrical
3 realities and it's fine. But the policy makers need to
4 decide this, conscious that there is a risk of
5 arbitrage. So remove arbitrage, everyone needs to see
6 the rate structure.

7 So how would you, moving onto one of the other
8 questions, how would you make the Smart Grid a reality
9 while keeping these principles in mind?

10 I would say push the technologies to accomplish
11 the policy goals, which California has already done
12 with the efficiency standard. So if your goal is peak
13 load reduction, demand response rolled out, coupled
14 with dynamic rates is warranted.

15 If you want to protect certain classes of
16 ratepayers, don't artificially insulate them from
17 prices. Instead, help them purchase new technologies,
18 like thermo or electric storage that give them a
19 physical hedge. This approach would accomplish three
20 things at once. First, all ratepayers reduce peak
21 load, even the ones with the storage devices. But the
22 ones with the storage devices see what would
23 essentially be the equivalent of an opt-out rate.

24 The approach also removes gaming opportunities
25 and this policy would spur a new market for storage

1 devices.

2 So a secondary concern, uniformity will help
3 lower costs. To the extent that California can pick
4 out and enforce standards for good devices, that are
5 usable nationwide, Californians would see faster
6 deployment and greater competition in the device
7 markets. That's my mandatory standard statement.

8 And also something to take into account are
9 operational and performance standards. Just last week
10 there was a call between NEMA and the utilities on the
11 issue of certain Smart Meters tripping certain AFCIs
12 and GFCIs during their installation process. So there
13 was a joint utility call last week, sorry, this
14 interference problem may require new standards. And
15 that's one of these examples of this ongoing need to
16 examine unintended interactions between technologies,
17 and the standards processes will evolve as we find new
18 reasons to come up with them.

19 So in conclusion, I'd say be wary of any type of
20 artificial rates, be mindful of electrical and profit-
21 maximizing realities when you create a policy, and look
22 for out-of-the-box ways to incorporate off-the-shelf
23 components that will get the Smart Grid built faster.
24 Thanks.

25 COMMISSIONER BYRON: So we've gone to "if I only

1 had a brain" to "if I only had a heart."

2 MR. HSIEH: Got you.

3 COMMISSIONER BYRON: Okay, interesting. Thank
4 you, Mr. Hsieh.

5 MR. HOFFMAN: Thank you, Eric. Our next speaker
6 is Eric. Old friend,
7 Eric Dresselhuys. And I don't think you have any
8 slides, either?

9 MR. DRESSELHUYS: No, I don't have any slides.
10 I'll try to speak to courage, it feels like it. It's
11 an appropriate topic. And it's great to go late after
12 a number of people have addressed the same questions
13 because you have the benefit of just, you know, piggy-
14 backing from what other smart and clever people have
15 said.

16 So I'd just like to reference all of you to
17 Richard Schomberg's slides, because I think he hit a
18 lot of the great things. I don't see him in the room.

19 But just to address some of the five questions, I
20 guess, that were really asked, the first on the policy
21 makers and what can policy makers do?

22 Obviously, a lot of the folks, especially the
23 utility panelists, had a number of comments to that.
24 But I would say, having lived through some of the early
25 working groups around the original Smart Metering

1 program back, seemingly, a hundred years ago, and
2 seeing how that's evolved, I would say that the most
3 important thing for the regulators to do in California,
4 CEC and CPUC, is to get the scope of the projects and
5 the scope of the problem we're to solve clearly on the
6 table.

7 Having, both here in California and a number of
8 projects our company's been involved in, in other
9 states, the biggest hiccup tends to be in the rate
10 recovery process of saying, well, what am I buying?

11 And as was mentioned in one of the earlier
12 panels, consumer groups, we all can stand up and say,
13 hey, I think I'm over-buying, I'm paying too much. And
14 didn't I just want a car, and you just pulled up in a
15 Mercedes, and I don't think I need to buy a Mercedes.
16 But when it comes to technology, and particularly the
17 telecommunications and high-tech technologies that make
18 up the underlying part of the Smart Grid you have to
19 have a time horizon in mind for what you're trying to
20 address.

21 One could argue that two tin cans and a piece of
22 string is a communications network. It's not a
23 terribly good one, but it's a communications network.

24 And so we have to decide what the problem we're
25 trying to solve is. If the market is there, the R&D

1 will happen.

2 And so there were some questions and I certainly
3 think, at least as a technologist, when I hear R&D, I
4 think about people and the webs really inventing stuff.
5 And I think that that's used here in the context of
6 having some leeway on the part of utilities to
7 implement and figure out what works, get some
8 experimentation out with the customers.

9 But the hardcore R&D I would say there's plenty
10 of money in the venture capital world, and elsewhere,
11 coming into the space to fund true R&D. And the
12 hesitation in getting the sufficient R&D into the
13 market is only limited by the fact that whether it's
14 venture capitalists or corporate American investing in
15 R&D budgets they're not sure if that investment will
16 ever payout because they won't know if there's a market
17 on the backside.

18 So to keep it simple, I would propose that the
19 most important thing that the State and Federal
20 authorities, with various pockets of money, can do is
21 do things that ensure that there is a market. If we
22 define the problem and we ensure that there will be a
23 market, I will guarantee, based on the thing that was
24 said before, we're in America and we're filled with
25 entrepreneurs, we will solve the problem.

1 Is California moving away from a national grid?

2 I didn't know we had a national grid, so I guess I
3 don't have a comment to say there. We have a little
4 bit of a kluged together thing at a regional level.
5 But, invariably, we'll move closer to a national grid
6 on the backside of this, even if we don't try.

7 Are the policies too aggressive? I don't think
8 they are too aggressive. I would say that if anything,
9 in California, they should be more aggressive than
10 anywhere else because the single greatest center of
11 innovation on the planet happens to be here. It's
12 surprising to me that there was only passing reference
13 in the earlier session this morning, and in the session
14 from the utilities, that nobody mentioned that the last
15 four great infrastructure transformations that have
16 happened in the world started and were executed out of
17 California, and that's the telecom, IT, and cable
18 industries, which have a shocking amount of overlap
19 with maybe some more complexity here, in the electric
20 industry.

21 But the Silicon Valley is where all of that
22 innovation has come from and California ought to
23 exploit it.

24 I love Richard's idea of the Disneyland of the
25 Smart Grid. I can't imagine that that wouldn't happen

1 in San Jose or someplace like that.

2 How do you avoid the issues with the
3 deregulation? I would put it simply that I think this
4 is the information and control system that can be the
5 single greatest tool in the avoidance of a deregulation
6 gaming scheme, as Eric pointed out. Part of it is the
7 lack of timely information, you don't know what's
8 happening, and you get what you measure. So if you
9 don't measure it, you won't know.

10 Finally, what do we need from regulators? Well,
11 I think the last thing I would throw out is that I
12 think we need to, from a regulatory, rate-making and
13 approval process, recognize that what we're doing here
14 is fundamentally different than most of the technology
15 and most of the funding requests that are addressed by
16 the CPUC or other bodies. We are not buying a thing.

17 As I got here, into Sacramento, I grabbed the
18 Yellow Pages and I looked throughout the whole thing
19 and I never found the Smart Grid store, where you go in
20 and buy a Smart Grid.

21 COMMISSIONER BYRON: Nobody looks at the Yellow
22 Pages anymore.

23 MR. DRESSELHUYS: You can Google it, too. And
24 so, you know, I think the challenge that we see and
25 this is in -- I think they've been going through

1 regulatory reprocesses in 11 or 12 states on Smart
2 Grid, is that there's a paradigm that says you can
3 define very narrowly what it is. And then once we
4 define what it is, we go with a lowest cost, highest
5 use mentality to figure out what an appropriate rate
6 case for recovery is.

7 That doesn't work with the Smart Grid, in my
8 opinion.

9 For most of you, and this looks like a reasonably
10 salty and seasoned crowd, when you got your first
11 connection to the Internet it probably looked like a
12 pipe and e-mail, a data pipe that got you out and e-
13 mail for sending messages. You didn't know what a
14 browser was and the world-wide web was somewhere off in
15 your future.

16 Yet, we've taken that same basic architecture and
17 we have evolved it over time. If you would have been a
18 utility trying to get rate recovery for the internet in
19 the early 1990s, somebody would have asked you, but
20 what about twitter, how is that going to work? Because
21 if I don't know all of everything, if I don't know
22 about Facebook and I don't know about all the
23 applications I met ever run on it, how do I know what
24 I'm paying for.

25 And so we're in a real quandary within the

1 regulatory environment, where if we don't give a
2 little bit of leeway to the utilities to build a little
3 beyond the most narrow scope of what we would normally
4 define as, you know, fair in a used and useful context,
5 we're going to end up with two tin cans and a piece of
6 string that aren't going to have the legs to carry us
7 forward. Thanks.

8 COMMISSIONER BYRON: It's interesting, you
9 mentioned twittering. I really mean it when I say
10 we're fortunate to have Commissioner Chong, she's the
11 only Commissioner in here that tweets.

12 MR. HOFFMAN: Thanks, Eric. Let's see, I think
13 David Kreiss is next.

14 MR. KREISS: Thank you, Ron, thank you,
15 Commissioner, and the Smart Grid community.

16 This is our theme park, so this is what's
17 happening in Boulder, Colorado. And, no, that's not a
18 picture of Boulder. I think that's a picture of
19 Denver.

20 But that is our theme park. We're developing a
21 theme park, we're creating rides and we're not sure how
22 they're going to end. We're learning as we go along.
23 We're learning a lot about the consumer, we're learning
24 a lot about the T&D system. We've got some really good
25 partners, Accenture, Schweitzer, Ventex, and Xcel is

1 just doing a marvelous job of moving us along and
2 putting in the resources.

3 So it's a fun ride. We're learning things like
4 Boulder is built on a boulder, so running fiber
5 underground is a challenge. And we're coming up with a
6 lot of interesting things, like what are the impact of
7 a lot of solar voltaics on the distribution grid, and
8 making those measurements and seeing the impact. So
9 there will be more as we're going along, it's an
10 ongoing process but we're learning a lot, and it's very
11 exciting.

12 I wanted to focus on one question and that is --
13 because we have a lot of good answers already and I
14 think a lot's been covered. The one question is, is
15 the policy aggressive? Because there's a lot of
16 concern, are we doing things too fast?

17 I'm going to make two points during the talk.
18 One point that I want to make first is solid
19 engineering solutions are available, they just haven't
20 been deployed. They've been deployed in transmission.
21 A lot of them haven't been deployed in distribution.

22 For example, voltage control, voltage control can
23 save -- people are using numbers like five percent, six
24 percent of energy on the distribution grid can be saved
25 right across the board by voltage control.

1 Now, a lot of work has been done by a couple of
2 Southern California , or excuse me, California
3 utilities have shown work to show when you drop the
4 voltage by one percent, you're getting almost a
5 corresponding drop in KW within the band. Voltage
6 control can save numbers like that. It's been tried
7 before, it's solid engineering, and it benefits all
8 consumers out of the box. You don't have to put
9 something into somebody's house for them to get a value
10 in things like voltage control, and significant
11 numbers, good engineering.

12 Phase balancing. All the i -squared losses by
13 having unbalanced phases. Yeah, sometimes we're going
14 to have to run a couple of feeders over because
15 somebody mentioned before, I think Terry mentioned it a
16 little bit, there's big radio systems. Yeah, we're
17 going to have to run some extra wires. But the idea of
18 phase balancing, just three-phase balancing as well,
19 you can reduce kinds of numbers up to like a half
20 percent of total energy by properly balancing.

21 Load control. We've talked about demand response
22 being, you know, essential in load control. Doing all
23 kinds of things, even when the transformer's having a
24 problem, not only with high prices, but how about
25 combining it with voltage control and DR into a

1 combination, it's available, done.

2 And real-time asset analysis, we can do it, we
3 can monitor the transformers and the breakers. We're
4 putting in incredible amounts of Schweitzer and all
5 kinds of devices, and making measurements and nobody's
6 using them. And the idea is in monitoring the assets
7 in this grid, where you know the assets are just
8 getting very, very old.

9 So the first point I want to make is solid
10 engineering solutions are available, they're reasonably
11 priced and they benefit the consumer right away out of
12 the gate.

13 The second thing I want to talk about,
14 interoperability. Now, we've talked about
15 interoperability and we're deploying a system through
16 the pain and suffering, with the help of Accenture at
17 Xcel and its Smart Grid. Interoperability isn't a
18 database that has an API. Interoperability means a
19 communication system where you can do DR and trip a
20 breaker on the feeder; you're not having three, four,
21 five different communication systems.

22 Interoperability means if you get a Schweitzer
23 device, or some edge device like we're putting in,
24 you're not just using it for voltage control, but that
25 edge device can be used for vegetation incursion. You

1 can start fires. You can use the Schweitzer device
2 to understand the fault, but you can also diagnose a
3 problem with the breaker. The idea of devices again
4 being interoperable with different IT systems, it's not
5 happening today.

6 The third interoperability, again, is with the
7 data and the IT systems. And I'm working with
8 utilities, you know, across the country, and we're
9 looking at projects where there are more silo projects.
10 And I want to bring this point up that, you know, some
11 of these projects that are going to be funded under the
12 Stimulus are silos, they're going to go in, but they
13 truly won't be interoperable.

14 You know, so we have to look at interoperable
15 from communications, from devices, and from the IT
16 platform, exposing all data, regardless of where the
17 data is in the databases, how they're stored in the
18 data, allow it to be surfaced through applications and
19 all utility departments to get real value out of it.

20 So these are the two things that I wanted to
21 bring up that, you know, we can be aggressive, you
22 know, there is good engineering, the notion of
23 interoperability is a philosophy in architecture, it's
24 available today and will really make this stuff work, I
25 think so. Thanks very much.

1 MR. HOFFMAN: Thank you, David.

2 Our next speaker is Tim Simon, CEO of Radio
3 Thermostat Company of America.

4 MR. SIMON: Thank you, Ron. I'm certainly going
5 to be the lowest tech speaker here. What we do is we
6 have three roles, I guess I have three hats that I wear
7 in three different companies. One is Radio Thermostat
8 Company of America, which I'll address in a second.

9 I also am a founder of a company called Golden
10 Power, which is a manufacturer in Mainland China, of
11 thermostats. And we make literally millions of
12 thermostats a year, sold through a great many different
13 channels.

14 The last part is the U-SNAP Alliance, which I'll
15 talk about in a moment.

16 We started as a thermostat manufacturer. About
17 four years ago we were contacted numerous times by
18 different metering companies and utilities, saying that
19 they'd seen our thermostats, and what we knew about
20 demand response and so forth. We didn't know anything
21 about this, you know, we make thermostats.

22 And we were asked if we could help develop a
23 thermostat that would work with this industry for the
24 purposes that you're all aware of. And as it started
25 it became clear that the idea of manufacturing a

1 specific thermostat to solve a specific need was not
2 the way to go, because we'd end up with many different
3 thermostats, and the marketing and the manufacturing
4 would be extremely difficult.

5 So we took a path of saying we want to make a
6 thermostat that is the same price as any thermostat
7 available today, so it would be a simple swap out at
8 our current distribution system, that if a thermostat
9 sells for 19.95 today, when it has the radio capability
10 -- I say capability, not the radio, itself, but when it
11 has the radio capability it will still be 19.95. If
12 it's \$50.00, it will still be \$50.00. If it's a
13 hundred, it will be a hundred. It's not going to
14 change because it has the capability of using radios.
15 The variant will be the radio, which we'll address in a
16 minute, but the thermostat will always be the same.

17 And that these radios will snap in and out, so
18 that we'll have a thermostat which is available
19 nationwide from day one, which is what we're doing
20 right now. So you'll be able to go to any channel you
21 normally buy your thermostat on and you'll have a
22 thermostat which can be adapted by plugging in a simple
23 radio module, and then it will be able to work with the
24 Smart Grid.

25 In doing that, the second part of this idea is

1 because it is this simple we don't have to worry
2 about what the indecision is. So those of you in the
3 audience that make this decision, whether you decide
4 you want to use Zigbee, Z-wave, RDS, Flex Net,
5 whatever you choose to use it doesn't matter, Wi-Fi, it
6 doesn't matter, our thermostat is sitting there ready
7 on the shelf, ready to go and take that. And we build
8 all those different radios and a little module like
9 this. And that module just snaps into the thermostat
10 and now that thermostat is enabled for whatever the
11 technology.

12 And if you change the technology, all you do is
13 you change the radio module, you don't change the
14 thermostat. And the thermostat is one that maybe a
15 customer will have had in his home for several years
16 before he upgrades it by putting a radio module in.

17 And if he decides down the road that he wants to
18 upgrade the thermostat for whatever purpose, he gets a
19 new HVAC system which was three heat and two cool,
20 instead of two heat and two cool he started with, he
21 doesn't replace everything, he replaces the thermostat
22 and plugs the radio module in. And again, it doesn't
23 matter, is it Wi-Fi, is it Zigbee, is it Z-wave, is it
24 RDS, is it Flex Net, it makes no difference, all of
25 these are interchangeable.

1 And that's what we set out to do at Golden
2 Power, to help do that we started Radio Thermostat
3 Company of America, which is the company I own the
4 interfaces with, with those in the room that we work
5 with.

6 And then, finally, we decided that this module
7 had a use beyond our borders, so to speak, so we
8 started an organization called the U-SNAP Alliance.
9 And this is the name of this is the U-SNAP module, and
10 it fits into things other than into our thermostat. So
11 you could take a GE appliance and have a socket that
12 you could drop your U-SNAP into. You could have a pool
13 pump, from a pool pump manufacturer, that could adjust.

14 So now if someone in the industry says I want to
15 get involved with this, I want to make load shed
16 devices, they don't have to develop this whole
17 technology. All they have to do is have a serial
18 interface on their product. They make a slight
19 modification, perhaps no modification, and their
20 product can now take the U-SNAP module, and then we've
21 done the work to develop the Zigbee, the Z-wave, the
22 Wi-Fi, the RDS, the Flex Net, whatever radio system
23 we're talking about, so that it just drops into
24 whatever device there is, and now that device can
25 communicate with the thermostat, or with the meter, or

1 whatever else is set up.

2 So the concept being is that by the end of this
3 year, as a company, we will no longer make any
4 thermostats that do not take the U-SNAP module. And
5 today I think we make 63 different thermostats, we sell
6 to eight different companies. We're in the retail
7 market, we're in the wholesale market, we're in the
8 direct-to-consumer market. We have specialty markets.
9 And all of these are handling this product by
10 definition, because every thermostat we sell will take
11 this module.

12 So our goal is to be able to say to you today,
13 with all the decisions you have to make, all the
14 thinking you have to do, you can know that there is a
15 thermostat out there that's ready, willing, and able to
16 handle whatever decision you make.

17 And if you pick a new technology that we haven't
18 heard of yet, other than some of the things I
19 mentioned, Wi-Fi, Zigbee, Z-wave, RDS, Flex Net and so
20 forth, it may take a short time to develop the radio in
21 this module, but I think you're probably going to
22 choose something along the lines of what we're already
23 doing.

24 So we're saying the consumer has a place to go to
25 buy this product, the user has a way of getting this

1 and being able to adapt this, so my goal is that
2 you'll leave here with the idea that, in spite of
3 everything that may be discussed, there is a
4 thermostat, actually millions of thermostats out there.
5 As I said, in the next 12 months we'll ship millions of
6 thermostats that take this U-SNAP module and most, or
7 probably all of those at the beginning, are being
8 bought by people that don't know anything about demand
9 response, haven't thought about it, they're buying this
10 for an entirely different purpose. Just the simple
11 idea that they can take and now control their
12 thermostat from their i-Phone, or from their computer,
13 and the thermostat, even the \$19.00 thermostat will
14 provide them with data logging.

15 So they buy the \$19.95 thermostat at Home Depot,
16 buy the appropriate module, plug into it and they can
17 download onto their computer what use, their air
18 conditioner was on for 221 minutes yesterday, as
19 opposed to 241 minutes the day before, and they can see
20 they had a ten percent savings in energy.

21 Now, when the utilities and everyone gets
22 together and puts in place the technology we're here to
23 talk about, then it will just be a simple addition to
24 be able to use that thermostat, they may already have,
25 to handle that need.

1 So my goal is you leave here knowing there is a
2 thermostat out there available in many different ways,
3 from many different people, under many different names
4 that in today's world, today, can do this. And we're
5 shipping those thermostats now, right now.

6 It's not a futuristic product, it's not hoping
7 we'll see it in the next three months, or six months or
8 a year, it's something we're actually shipping today.

9 Thank you, Ron.

10 MR. HOFFMAN: Thanks Tim.

11 Dave McCalpin.

12 MR. MC CALPIN: So I'm Dave McCalpin and I
13 represent the other half of the GE tag team here. And
14 as the Chief Marketing Officer for GE Appliances, I
15 bring the consumer goods side of the house perspective
16 to this discussion.

17 And, you know, the Smart Grid, obviously, offers
18 a really unique opportunity to align the interests of
19 policy makers, utilities, manufacturers, like us, and
20 consumers to solve one of the big challenges facing our
21 country and more specifically, today, the State of
22 California.

23 You know, while residential energy consumption
24 continues to grow, utilities strain to meet the needs
25 of the demands, particularly during peak periods, while

1 their assets go under-utilized during other,
2 nontraditional peaks.

3 But we can unleash great amounts of capacity if
4 we can just shift traditional patterns of consumption,
5 and therein lies the challenge, how to bring about this
6 change.

7 The Smart Grid has the potential to enable such
8 change, but that potential will be frustratingly under-
9 realized without the proper framework of standards and
10 incentives.

11 As policy makers and regulators you have the
12 opportunity to serve as catalysts to accelerate this
13 change and to align these interests.

14 Utilities, obviously, want to be able to consent
15 consumers to change consumption patterns, and we
16 certainly anticipate the time-of-use pricing will
17 become commonplace over time.

18 Consumers, on the other hand, want to live their
19 high lives with a minimum of inconvenience and added
20 costs.

21 As a consumer goods maker, we believe there's an
22 opportunity to serve these needs and to provide
23 consumers with the tools they need to be able to live
24 in this emerging world. And that's where the business
25 opportunity lies for us.

1 At GE Consumer Industrial, which I'm a part of,
2 we're committed to producing products that meet the
3 anticipated consumer needs for demand responsive
4 solutions.

5 Since last summer we have been testing a suite of
6 demand response appliances in a 15-home test, with
7 Louisville Gas and Electric, a unit of E.ON U.S. The
8 results have been very promising. So promising, in
9 fact, that this summer our first commercially available
10 demand response-enabled appliances will be introduced,
11 so we'll have a fleet of products ranging from a test
12 pilot on some room air conditioning, but then
13 commercially available products in refrigeration,
14 dishwashers, clothes washer, dryers, that will enable
15 consumers in a demand response, time-of-use world to be
16 able to shift or shed loads with minimum of challenge
17 that will default them into those kinds of
18 capabilities.

19 We'll follow these products later this year with
20 a truly breakthrough water heating product. And while
21 I think California's, you know, gas water heaters are
22 far more prevalent, I think it's instructive in the
23 direction we're headed we have an electric water
24 heater, a hybrid, a heat pump water heater that will
25 allow consumers to reduce energy consumption by 50

1 percent over a standard electric water heater. And
2 it's embedded demand response capability will reduce
3 peak load by 80 percent or 3500 watts during use.

4 And we have a lot more of these types of products
5 coming down the pipeline.

6 As time-of-use pricing becomes more widespread,
7 consumers will seek these tools to help them reduce
8 their energy costs.

9 From a policy perspective, our ability to provide
10 affordable and durable solutions will be dependent upon
11 adoption of standard communication platforms and open
12 protocols.

13 We also believe consumers will need reason to
14 trade up to these newer technologies. Energy Star
15 rebates are a great example of demonstrating the power
16 of incentives to accelerate the rate of adoption, and
17 we believe there's a role to be played here as well.

18 As AMI solutions role out, we need to achieve a
19 level of standardization. These manufacturers can't
20 provide products to a thousand unique communication
21 solutions, though we certainly are building in the
22 flexibility. We're not waiting for a standard
23 solution. And the products that we put out, we're also
24 not designing them in a way that they're going to
25 become obsolete over time, either. We are designing

1 them to be flexible and able to be adjusted to
2 different platforms.

3 One thing that's unique about an appliance, as
4 compared to a thermostat, is that sometimes consumers
5 want to pick them up and move them somewhere else, and
6 we want to be able to provide them the ability to do
7 that should they choose to move somewhere, where
8 they're using a different communication platform.

9 We recognize that there's not one solution that
10 will meet the needs of every utility in every
11 situation, but a common protocol will simplify the
12 creation of products designed to work with all hardware
13 solutions.

14 To that end we support a common signaling
15 infrastructure, such as the Smart Energy profile, as a
16 means of initiating those common platforms.

17 We stress the need for common, open protocols to
18 create a level playing field in the market, a market
19 where we can create demand responsive products that
20 provide consumer benefit at a fair cost.

21 Proprietary communication solutions would drive
22 consumer costs far beyond the benefits recognized and
23 will create markets that no manufacturer is interested
24 in pursuing.

25 With the proper infrastructure in place consumers

1 will need, in our opinion, incentive to upgrade their
2 load-consuming devices. The use of rebates to drive
3 sales of Energy Star products has been enormously
4 successful. As I mentioned earlier, over 75 percent of
5 all dishwashers sold in the United States, today, are
6 now Energy Star qualified, 30 to 35 percent of all
7 refrigerators, clothes washers, and room air
8 conditioners also meet Energy Star requirements.

9 But the market penetration is highly dependent on
10 the amount of support provided by state and local
11 governments, as well as local utilities. In states
12 where incentives exist, Energy Star penetration is much
13 more pronounced.

14 In the case of, for instance, clothes washers and
15 room air conditioners, states where there are
16 incentives have nearly twice the rate of penetration as
17 states where there's no incentives.

18 In the long run, consumers will embrace the
19 market transformation here, but to achieve accelerated
20 rates of adoption, we believe incentives are required.

21 We're very excited about the prospects for the
22 new line of products we'll be offering beginning this
23 year, and we hope we'll soon have the opportunity to
24 engage in a meaningful demonstration to prove their
25 ability to meet the needs of California consumers.

1 MR. HOFFMAN: Thanks, Dave.

2 Commissioner Byron?

3 COMMISSIONER BYRON: Well, I don't know that I'm
4 going to ask a lot of questions, Mr. Hoffman. I took a
5 lot of notes, I learned a lot. I definitely am
6 interested in buying one of these Bluetooth
7 thermostats. But I need the software that goes with
8 it, right; I need the capability to control that?

9 Is that how these devices work? I guess I'm
10 really asking the two gentlemen on the end.

11 MR. SIMON: When you buy the thermostat, it's a
12 thermostat with the capability of taking a module.
13 When you buy the module, on the popular ones, Wi-Fi,
14 Zigbee, Z-wave, it comes with the software you need to
15 operate it.

16 So you could by this, for example, Wi-Fi module
17 today, take it home, plug it in, and take your i-Phone
18 or your computer and talk to your thermostat instantly,
19 you don't need anything else beyond that.

20 COMMISSIONER BYRON: And likewise for you, Mr.
21 McCalpin, is that how GE's devices are going to -

22 MR. MC CALPIN: The appliances, the demand
23 responsive appliances that we'll be introducing will be
24 capable, within the controls of the product will be
25 capable of recognizing a signal that tells them what

1 the rate structure is, or when the peak period is,
2 and they will default when they see that signal into
3 different forms of action.

4 For instance, the first action typically is to
5 try to delay the cycle. If the consumer doesn't want
6 to delay the cycle, then it will look for other
7 opportunities to spread the cycle so that the amount of
8 energy consumed during the peak is reduced.

9 COMMISSIONER BYRON: This is great. But neither
10 of you are waiting for standards. If a utility adopts
11 or if a public utility's commission in this State
12 adopts a certain program, I mean, I don't mean
13 incentives, let's say -- well, I don't know exactly
14 what I mean, I was thinking rate structures. But can
15 you adapt to that, does it matter that your devices may
16 not be to a national standard?

17 MR. SIMON: Well, in the worst case scenario the
18 customer would never have to change the thermostat but
19 he might buy or upgrade, either buy a new module or
20 upgrade the module, that would be the absolute worst
21 case scenario, to adapt to whatever standard that we
22 don't know about yet because it hasn't existed. But I
23 don't see that as being an issue, but if it does, the
24 worst case scenario is a replacement module.

25 MR. MC CALPIN: So similar in our situation,

1 obviously, the simpler, in our opinion, the simpler
2 you make the rate structure, the easier it is for
3 consumers to understand it and to realize and be smart
4 about their energy consumption patterns, and to modify
5 them in a way that they understand helps them save
6 money.

7 MR. SIMON: Okay, I may have misunderstood your
8 question slightly. The way I'm understanding, as I
9 think about what you just said, you buy this thermostat
10 today, some months now your local utility tells you
11 that they've adopted this radio type, so you buy this
12 module and you plug it in. The thermostat is like a
13 TV. When you go to the store to buy a TV you don't
14 say, now, will this TV show westerns? You know, it's a
15 TV, it shows a picture that is sent to it.

16 This thermostat receives a radio signal that's
17 being sent to it and it reacts to the commands that are
18 there. It is possible that those commands may not
19 exactly speak and there may have to be some slight
20 change in the software and the module.

21 It is more likely because of the way we built
22 this, though, that you'll have a red light, a yellow
23 light, a green light, and the thermostat has those, and
24 whoever's on the other end of that will be able to turn
25 on the red light, yellow light, green light, set it

1 back how many degrees they want. Whatever you want
2 to do is likely already handled. If not, a slight
3 change in the software on the module is all that
4 happens. The thermostat will never change.

5 COMMISSIONER BYRON: Okay.

6 MR. MC CALPIN: It's a question of how you
7 translate the signal. You know, our products, within
8 the control architecture or coding will have three or
9 four states of operation and it's a question of how you
10 interpret the signal to which one of those states of
11 operation you move into. The states of operation will
12 be well defined.

13 MR. SIMON: For example, on this, using this i-
14 Phone, I just changed the temperature of our thermostat
15 at home. And I could tell the red light to tell my
16 wife don't get in an elevator because the red light's
17 on, there could be a power problem. But this exists
18 today is what we're talking about.

19 COMMISSIONER BYRON: Uh-hum. And I've looked for
20 these devices. Not yours in particular, but there's
21 consumer catalogues that have smart home, and things
22 like this, and they're quite expensive options right
23 now for consumers. So I'm assuming these are much
24 lower cost options.

25 MR. SIMON: You know, the thermostats start at

1 19.95 retail, plus the cost of the radio module,
2 which depends on what radio it is, is how much the
3 module is. But typically I'd say the radio modules are
4 20 to 49 dollars.

5 COMMISSIONER BYRON: Well, honestly, I've honed
6 in on the subject I'm very interested in. Mr. Hoffman,
7 I'm going to let you take over, but I do have to make
8 one comment to Mr. Hsieh.

9 I don't know that gaming is really an indictment
10 of a smarter grid. It may be an indictment of the
11 incentive programs, and if we've got those rolling.
12 But I don't think the access to information should
13 really be indicted because people can misuse it.

14 MR. HSIEH: No, and I didn't mean to suggest that
15 we should be holding onto technology that doesn't
16 provide the opportunity for gaming, I'm simply pointing
17 out, as was asked in the questions, you know, is there
18 a possibility for a repeat of certain actions that
19 we've seen before and, yes, there is a possibility.

20 COMMISSIONER BYRON: Okay, thank you.

21 MR. HOFFMAN: So one clarification that may help
22 here, and Dave mentioned it, and it went by real fast
23 and I just want to repeat it, and Dave can correct me
24 if I'm wrong, but I think GE is looking towards what's
25 called Smart Energy Profile 2.0 as being the standard

1 that will be an information model for pricing, load
2 control, all the things that will make thermostats,
3 appliances, and everything else understand how to talk
4 to the utilities.

5 Is that what you were saying?

6 MR. MC CALPIN: That's correct.

7 MR. HOFFMAN: Okay. And the Commission supports
8 that and we're doing research in that direction to try
9 to support that, with open ADR. We're trying to,
10 what's called, harmonize all of these information
11 models so they're all the same. And we want them to be
12 extensible, and scaleable, and all the other things so
13 as we change our policies over time the thermostat and
14 the appliance won't have to change, they'll be able to
15 read the signal and be able to cull out of the signal
16 whatever new information might exist there.

17 MR. MC CALPIN: Right.

18 MR. HOFFMAN: Again, if any of you disagree with
19 that, you might comment on it.

20 COMMISSIONER BYRON: And I know there's a lot of
21 work that goes on in the Energy Commission in this
22 regard. I think, and I'll ask you to comment but,
23 really, what I'm ultimately interested in is hearing if
24 there's any specific recommendations that we need to be
25 making, policy-wise, that will help improve or correct

1 the situation?

2 In other words, is the access to information
3 acceptable at this time; is that going to be a problem
4 going forward? Those kinds of things I'm interested
5 in. So I headed down maybe a different path.

6 Were you looking for some specific comments back
7 on this?

8 MR. HOFFMAN: Well, I was going to ask a couple
9 more questions that I hope would help.

10 COMMISSIONER BYRON: Good.

11 MR. HOFFMAN: And I thought I would ask Eric
12 Hsieh to comment, maybe for a moment, on the role that
13 NEMA plays in standards, and I thought that might be
14 useful if he could give us some insight as to what role
15 NEMA might play in the Smart Grid standards that are
16 going on at NIST?

17 MR. HSIEH: Sure. The role that NEMA plays in
18 standards, just briefly, the historical role has been
19 physical, interoperative standards. I mean, the wall
20 outlet is a NEMA standard from several decades ago, WD-
21 06.

22 And, you know, NEMA at this point in time has
23 moved towards communication standards, as the
24 manufacturers have decided that it's appropriate. We
25 are an active participant as an association and with

1 our members in the NIST framework. We are trying to
2 push NIST to formalize a process by which they would be
3 deemed a standard to be in the national interest and
4 interoperable. But that's still an ongoing process;
5 we'll see what happens next week in D.C., at the next
6 NIST workshop.

7 But I would encourage California to follow that
8 process closely, you know, as soon as there's a usable
9 product and process from NIST, I think that would do a
10 lot to provide certainty for -- for example, certainty
11 on the existence of a market or certainty on the types
12 of protocols that manufacturers be dedicating R&D staff
13 to.

14 MR. HOFFMAN: One other clarification that I
15 thought maybe Eric Dresselhuys might make, or just
16 reaffirm this, I think what Eric was saying in his
17 message was that it's all about the network. Am I
18 correct there?

19 MR. DRESSELHUYS: Well, I think it is --the
20 network is the most important thing to get right.

21 MR. HOFFMAN: I meant network architecture,
22 sorry.

23 MR. DRESSELHUYS: Yeah, architecturally, when we
24 talk about architectures, it is about building a
25 network architecture that will evolve and grow over

1 time.

2 And I think, yeah, that was the analogy I was
3 trying to make with the internet is that, you know, the
4 amazing thing about the internet is that it's open,
5 it's standard, it's interoperable and it's never --
6 I've never heard anyone say that there's a standards
7 approval constraint in the internet. And so there are
8 models.

9 And I think the challenge that Secretary Chu's
10 thrown out is an interesting one for an industry. As
11 somebody said on one of the earlier panels, oh my gosh,
12 we can't take standards, it takes ten years to do
13 standards. That's a bit of the problem, isn't it?

14 The IETF, which is the Internet Engineering Task
15 Force, which is the driving standards body behind the
16 internet, and it's not a perfect model for electricity,
17 but it's a different model than the way we've done
18 standards work, has shown us that you can have your
19 cake and eat it, too, you can go fast and you can
20 evolve as you go. And I think that's part of the
21 learning that's coming in here.

22 MR. HOFFMAN: And then the last comment I had was
23 a comment on what Kreiss said, which I would like to
24 underscore and have him maybe comment some more, I'll
25 just rephrase it. I think Dave is pointing out that

1 for the last 20 years there have been a lot of
2 applications, like voltage conservation reduction,
3 which used to be the old name for voltage control, and
4 things like load balancing that may be enabled now by a
5 Smart Grid and, therefore, help give you a better value
6 proposition for the Smart Grid.

7 Am I taking that too far?

8 MR. KREISS: Perfect. Under Smart Grid, as my
9 colleague says from EPRI, Smart Grid involves whether
10 you use the meters or some edge sensors, you're going
11 to have new measurement devices on the edge of the
12 system. Under Smart Grid you're going to have
13 communications. Under Smart Grid you're going to be
14 able to share data.

15 That means that these technologies, given that
16 platform, will work and they'll work efficiently, and
17 it could be done with a high degree of reliability.
18 And like I said, it just benefits the consumer right
19 out the gate.

20 MR. HOFFMAN: So I haven't gotten any blue cards,
21 are there any questions from the audience?

22 Yes, can you come up to the microphone? Can you
23 come up to the microphone, please, and introduce
24 yourself?

25 MR. TRALLI: Yeah, I'm Dave Tralli, from the Jet

1 Propulsion Laboratory in Pasadena. So I apologize,
2 let me look down so I can read it, and my glasses only
3 work -

4 COMMISSIONER BYRON: Mr. Tralli, speak very
5 closely if you will.

6 MR. TRALLI: Is it on?

7 COMMISSIONER BYRON: Yeah.

8 MR. TRALLI: So I just want to offer a
9 perspective from someone who's been in the audience all
10 day, and I ask the question, when I read the title of
11 that slide, how are we going to know? Okay, after
12 everything we've heard today, how are we going to know
13 if we're supporting or meeting California's energy
14 policy goals?

15 And all day today there's two words I've never
16 heard. Today I've never heard the word "requirement"
17 and I've never heard the word "architecture."

18 And so my concern is, because this was raised by
19 you, fellow Commissioners, and others that there is a
20 lot of concern about the perspective of the ratepayer,
21 or the ultimate energy consumer, will they pay, will
22 they like it, will they thumb it down?

23 And so when I look at the perspectives from the
24 technology and the utility side it seems that we're
25 looking at what will be market-based solutions,

1 solutions that will be defined by the consumers,
2 which is fine, but I guess my question is, is that
3 going to be equated to a Smart Grid architecture? Will
4 the Smart Grid architecture be equated with what comes
5 out of the marketplace?

6 And if that's the case, is that going to be an
7 optimal solution for a Smart Grid architecture? Where
8 is the top-down network architecture that will ensure a
9 long-term sustainable Smart Grid that supports these
10 goals to 2020 and beyond?

11 And so rather what I see, perhaps, I guess just
12 an observation, is something that looks more like an
13 incremental evolution of the decades-old grid by just
14 adding high-tech stuff to it, analogous to what
15 somebody mentioned earlier today was the 30- or 40-year
16 growth of the internet.

17 Now, if that's the case, earlier today we
18 discussed about using recovery money to accelerate the
19 process by which we can have a Smart Grid and maybe
20 condense that down to five or seven years.

21 Well, I'm having a problem rationalizing that
22 with the fact on something, to me, that looks like an
23 evolutionary market-based high-tech sophistication of
24 the current grid.

25 And so I don't see a top-down comprehensive

1 requirements flow down that will sustain these
2 requirements in such a matter that will be met with the
3 bottoms-up market-driven stuff that will play itself
4 out in the marketplace.

5 So I just thought if anybody wanted to comment on
6 that, or perhaps it will be things that we'll talk
7 about tomorrow.

8 MR. DRESSELHUYS: I'll take a shot at it. No, I
9 think it's exactly right and I think that was the point
10 I was trying to make when we talked about network
11 architectures a minute ago. I think you need to -- you
12 can't buy products and just implement systems, I think
13 you have to know what the -- and at least the point I
14 was trying to make, maybe unsuccessfully, was what's
15 the problem we're trying to solve and then how do we
16 build it down from there.

17 And I think Richard mentioned, I think in the
18 earlier conversation, that something that has happened,
19 I think very positively here, is that through the
20 process, starting with a group called Open AMI, and
21 then it's expanded into a much, much, much bigger
22 thing, took on a use-case-based approach to solving our
23 very complex set of problems, and breaking them out
24 into parts, and defining kind of optimal solutions.

25 Now, how we go about building those, and the

1 technologies, and the physical products we do that
2 with is kind of the stage that we're moving into now.
3 And I would say that from my stand point there is a
4 general agreement around some high-level principles,
5 but I don't think you'll get something that I think I
6 heard you say, which is there is going to be an
7 architecture, a top-down architecture and say this is
8 what it is and I'm going to build that. I don't think
9 that's coming and I don't know that it's desirable.

10 I think it's more of a framework around
11 architectural principles that will be built and
12 implemented at different time frames, in different
13 pieces, at different places.

14 MR. KREISS: Just a note on that. I love the
15 question. As a matter of fact, I think there could be
16 a workshop just on Smart Grid architecture. As a
17 matter of fact my title is VP Smart Grid Architecture.
18 So, you know, that's what we've been doing.

19 If I was a utility, I'll take it a step to your
20 question, if I was a utility, I would think about the
21 Smart Grid architecture first, of laying down the
22 platform, architecture of all the data throughout the
23 system, the communication system, of the IT system and
24 how things would integrate.

25 I would say that that would be top priority, if I

1 was a utility and saying I want to start and begin my
2 Smart Grid project, I would actually even look to that
3 first.

4 But the point is well taken; I think a whole
5 workshop could be devoted to the notion of what is a
6 utility architecture for Smart Grid.

7 MR. GRAVELY: I have to add one more comment to
8 your question, and it will be discussed some tomorrow,
9 but in more detail later, and that is we have, and I
10 mentioned it in my presentation, we have a contract
11 solicitation on the street today, or we're reviewing
12 the proposals to do what we call defining the pathway
13 to the Smart Grid 2020.

14 I don't think we have the top-down architecture
15 and I think the process of Legislature, or the
16 government, or how to be doing that is a difficult
17 process. So what we are doing is we're getting in an
18 area, performing research to help policies, as we are
19 actually having utilities, a utility team and a
20 manufacturing team define where we think the Smart Grid
21 is in 2009-2010, where are we today, and then where
22 will be in 2020, given in light of the policies we
23 talked about for renewables, and efficiency, demand
24 response and those things.

25 So, you know, define where we are in 2020 and

1 where we are today, and how we get there.

2 And in that process I think some of these
3 requirements and systems approach, I'm expecting to see
4 that type of an approach to the solution. But I don't
5 think, coming from a military environment where those
6 requirements are much easier to define in a war
7 environment or whatever, it's a little easier than this
8 environment.

9 But I do think it will probably be the first
10 time, in my exposure to Smart Grid, that we will take
11 that type of view and look at it. But again, from a
12 perspective of a utility view and a manufacturing view,
13 because our belief is the implementation process and
14 the way they think is substantially different and we
15 envision two different roadmaps, and so that's a part
16 of it.

17 The goal of that is to provide information
18 through - you know, it may not be available for the
19 IEPR, but it will be available for the load management
20 standard hearings, and PUC hearings and other things,
21 that potentially the Legislature can made a decision.

22 And so I think it is a great question, but I do
23 think it requires some decisions at the top level that
24 haven't necessarily come down this far.

25 So what I'd like to do now, I've asked Ron, and I

1 see we have a few utility members left, but Tom and
2 Terry, would you join us up here? And also, I see SCE
3 has a representative left. Even though you didn't
4 speak, you can come join us up here for SCE.

5 We'll take questions now. I've got a few
6 questions that are left over from the morning.

7 Okay, Paul, thank you, I thought you left.
8 Thanks.

9 So, unfortunately, one individual left that had
10 some questions, but I wanted to ask a couple of
11 questions for the whole panel, both panels all here
12 today, and so and then any other questions, those of
13 you who want to ask questions when I'm done with these
14 from the WebEx, then feel free to come to the mike and
15 ask questions of any of the participants here today.

16 And so I'll start with the first question. And
17 it says, "what regulatory levers are there to require
18 utilities to install Smart Meters that support vendor
19 agnostic demand response?"

20 And basically they're asking can community-choice
21 aggregators specify a particular Smart Meter to be
22 installed within a jurisdiction.

23 And I actually don't know if we still have -- is
24 there space? Fred, you might have some comment here on
25 the public side. I don't know if we -- if you don't

1 mind speaking at the podium, I'll let you talk.

2 But we're talking about different ones. So the
3 question would be across all utilities and the vendor,
4 and the meter, what regulations is there to, I guess,
5 to invent proprietary systems being installed that
6 would not necessarily interoperable.

7 Oh, Ron's going to swap seats with you over
8 there.

9 Anybody want to tackle that question? Go ahead,
10 Paul.

11 MR. DE MARTINI: So if I understand the question
12 right, if a community-choice aggregator wanted to put
13 their own meter out there?

14 MR. GRAVELY: Uh-hum.

15 MR. DE MARTINI: So those rules were defined back
16 during deregulation, in the '96-'97 time frame. So
17 they do have the ability, under the existing regulatory
18 structure, to be able to put their own meters.

19 In fact, Wal-Mart has their own meter system that
20 they use, and customer-owned meters. So those rules
21 were defined quite a while ago.

22 So, in fact, that was one of the questions that
23 came up in our Smart Meter proceeding, from the ARM
24 group that represents a lot of the energy service
25 providers, about whether or not we were going to be

1 replacing their meters that are out there. And the
2 question -- the answer is, no, we're not. I mean, if
3 they want us to, we will, but that's at their choice.

4 So those rules are all sort of maintained and so
5 there's no change to that.

6 MR. GRAVELY: Okay, any other comments? Okay,
7 thank you. I hope David Erickson is still online, he
8 was the one that asked that question.

9 And the other question I have here is -- I think
10 we probably should have Commissioner Rosenfeld or
11 Commissioner Chong answer this one. But the question
12 is, "how do you expect customers to use price signals
13 to be done or replacing, while at work or doing other
14 daily chores, how much money a month can a customer
15 save?"

16 So I think my comment to that, of course, is we
17 did a quite a few studies and some may know here, from
18 the statewide pricing pilots. Even Ron may be able to
19 come speak to that a little bit.

20 There were some statewide pricing pilots where we
21 actually performed different variations of these
22 systems, and talked about different types of dynamic
23 prices and how the customers accepted them.

24 So if you feel comfortable talking about that,
25 feel free to just share a little bit.

1 Because the question really comes down to
2 dynamic pricing and being home, and being able to adapt
3 to it, and the value to the customer.

4 MR. HOFFMAN: I just have a couple of quick
5 comments. Those people that are familiar with the
6 statewide pricing pilot know that in that pilot there
7 was a variety of tests that were done. Some were done
8 with just manual - the signals were given and people
9 only had the ability to manually change things, some
10 people had a little automation, some people had a lot
11 of automation.

12 And the answer to this, I think, is that
13 automation proved to be the one item that people loved
14 the most and it was the one that gave us the most
15 demand response, and so it was a win/win. So I think
16 automation was an answer.

17 MR. SIMON: Yeah, I was just going to say part of
18 the built-in features of our higher-end thermostats are
19 that if a pricing signal comes, there's a block window
20 for that pricing signal. So the thermostat, you can do
21 a simple program and you can say to it, if the price
22 sends this level, then set back, and send a signal to
23 another appliance that may be on an entirely different
24 type radio and tell it, your pool pump, to shut off, or
25 tell this other device to shut off.

1 So the thermostat can become the entry point
2 into the house that allows other items to be
3 controlled.

4 MR. MC CALPIN: Similarly, with regard to the
5 appliances that we've designed, they're automated in
6 their response. So they receive the signal and they
7 automatically respond with a load-shedding solution.

8 MR. MOHN: There's one other concept that we've
9 been working on. Because we've worked really hard up
10 front in the deployment of our Smart Meter program and
11 establishing certain standards of interoperability, the
12 beauty of defining those standards was that innovation
13 thrived, and we've seen a plethora of companies coming
14 out with innovative ideas, like Tim Simon and his
15 companies.

16 But also, we've seen companies come out with
17 concepts around energy management platforms for the
18 home consumer. And they're very cost-effective, they
19 may even be built into the device, such as a cable set-
20 up box, where you turn on your TV, you program it, it
21 controls all your devices in your home. It sets,
22 perhaps, your monthly budget allowance and it makes the
23 decisions on behalf of all of the devices.

24 These are things that the utility didn't ask for,
25 but innovators have come up with, and they've said we

1 think there's a market for it.

2 MR. GRAVELY: Okay, yeah, very good.

3 MR. FLETCHER: The other thing with regard to
4 this automatic control is not only should you make it
5 so you've got an automatic control on price signals,
6 but you might want to do it with regard to carbon
7 content and other parameters.

8 You might want to consider things with a feed-
9 forward control system, as well as adaptive format.

10 So there's a value for the utility to have
11 certain information and things like that available to
12 the consumer on some basis.

13 MR. GRAVELY: Very good. All right, any
14 questions from the audience that they would like to ask
15 the panel, since we have all the representatives here?

16 Could you unmute the WebEx line just in case
17 somebody -- there's still 37 or 36 people online, if
18 anybody online has questions, I'll let them ask them
19 now.

20 So I realize those of you on the WebEx have been
21 muted most of the day. Anybody who -- you should be
22 able to speak up now, anybody who wants to ask a
23 question. We have several panel members here
24 representing industry, the utilities, the policy side,
25 and the research side, so if anybody has any questions

1 they would like to ask at the close of today's
2 session, now is the time to do that.

3 MR. GRAVELY: Well, we'll mute this up. And so
4 in summary I want to thank everybody, and I'll give
5 Commissioner Byron a second to say thanks, also.

6 So tomorrow's agenda is primarily going to be on
7 looking at the different projects and technology we
8 discussed today and the status of them.

9 For example, the three white papers I discussed,
10 there will be presentations on all three of those, as
11 to where we are today. So those who are interested
12 will hear the status of the information and will hear
13 information on what will be expected to be in those
14 white papers from that information.

15 And I would also - lately, I've been doing this,
16 we've talked about the Economic Stimulus Package and
17 we, in California, and Commissioner Byron and the other
18 executives in our Commission have charted us to help
19 the State participate as actively as possible and
20 prepare as good of proposals as possible. And so when
21 I have these workshops I do offer myself, and Pedro
22 Gomez and his staff, because this is our area of
23 expertise, so we have offered to individuals, who
24 desire to participate, to be a partner in some of the
25 Smart Grid proposals that will be submitted

1 competitively -- we, in the Commission, will not
2 submit any proposals to Smart Grid directly, we are
3 partnering with people.

4 We're trying to bring teams together, we have
5 utility, and quite a few of the public utilities who
6 are interested in participating, and we'd be interested
7 in some of the vendors who may want to put together a
8 demonstration project.

9 And so we are here in the next month or so to
10 provide that partnering arrangement. We're here to
11 provide expertise that we have in the research area.

12 And so I would offer again, our contact
13 information is on the website, it's on the
14 announcement, if you are interested feel free to
15 contact us if you want to just discuss it.

16 We are very interested in California capturing as
17 much of the DOE Stimulus money as we can get. We
18 expect the announcement to come out in the middle of
19 June and the proposals to be due at the end of July.
20 That's the current schedule. It may slip a little bit,
21 but that's the time frame we're talking along, so we're
22 expecting it to happen in the next two months.

23 And we've been working with the utilities that
24 are here and the vendors that are here. So for those
25 who are online or are here, if you're interested, give

1 us a call, or e-mail, or come see us and we'll do
2 what we can to partner you up and help you prepare a
3 proposal.

4 Again, we're competing against other states, and
5 so we don't want to compete against each other, but we
6 want to do what we can to put the best quality
7 proposals together.

8 Well, tomorrow you will status on a lot of the
9 technologies that are being demonstrated through the
10 Smart Grid, it's for the whole day, it's a technology
11 day.

12 And I will give it over to Commissioner Byron to
13 close us up.

14 COMMISSIONER BYRON: Thank you, Mr. Gravely. You
15 are playing the role of a matchmaker and that's been
16 very helpful, I think a number of folks have commented
17 on that.

18 I'd like to thank you all for being here, this
19 was very valuable, I've learned a great deal. We kind
20 of devolved around the Smart Grid and -- I'm sorry,
21 around Smart Meters to some extent, and the interface
22 with the customer, this afternoon, and I was very
23 pleased about that.

24 I'm reminded back, again, when I was at that
25 software company and I called up my local utility about

1 12 years ago, and I asked them if I could get
2 information about my energy usage, and it took a long
3 time but we figured out they could give me a pulse,
4 they could give me a relay pulse every time we clicked
5 off a kilowatt hour that I could get that pulse.

6 And I said how much does that cost, and it was
7 \$5,000 to get that little device installed. But we
8 went ahead and did it so that we could put it side-by-
9 side with our real-time meters, and it was great, it
10 confirmed that their meter was three percent more
11 accurate than mine. Meaning it clicked off three
12 percent more kilowatt hours than my meter did.

13 But I think we've come a long way. These
14 customer, consumer interfaces, I'm really pleased to
15 hear what's going on in the industry with regard to
16 what's available and going to become available to
17 consumers. I have a feeling we haven't heard it all
18 because not all of the companies that we know are in
19 this space are represented here today.

20 But we're very interested in this and we want to
21 help get the policies right so that California can
22 continue to be a leader, because we think these
23 products will work well here, in California.

24 I'd like to again thank everybody for
25 participating, and I think we're not too late. We're

1 going to be back here tomorrow, we're going to go
2 into more detail on a number of specific projects and
3 technologies, and I hope you'll join us.

4 What time are we starting, Mike?

5 MR. GRAVELY: Nine o'clock.

6 COMMISSIONER BYRON: Be back in this same room at
7 nine o'clock tomorrow morning.

8 MR. GRAVELY: Nine o'clock tomorrow and we will
9 provide - each speaker will have questions and answers
10 on their technology, so we're envisioning it to be more
11 of a technology interchange tomorrow, and we have a
12 wide variety of discussions.

13 COMMISSIONER BYRON: Thank you. I plan to be
14 here as well. We'll be adjourned.

15 MR. GRAVELY: Thank you.

16 (Applause.)

17 (Whereupon, at 4:45 p.m., the Workshop was
18 adjourned,

19 to reconvene at 9:00 a.m., on Thursday, May 14,
20 2009.)

21 --oOo--

22


23

24

25

TRANSCRIPTIONIST'S CERTIFICATION

I, Karen Cutler, a duly designated transcriptionist, do hereby declare and certify under penalty of perjury that the foregoing pages constitute a true, complete and accurate transcript of the electronic recording of the employee matter regarding Richard Latteri.

A handwritten signature in cursive script, reading "Karen Cutler", is written over a horizontal line.

Karen Cutler, Transcriptionist

California Reporting, LLC

June 1, 2009