

BEFORE THE  
CALIFORNIA ENERGY COMMISSION

In the Matter of: )  
 ) Docket No. 09-IEP-IP  
Preparation of the 2009 )  
Integrated Energy Policy Report )  
(2009 IEPR) )

<b>DOCKET</b>	
<b>09-IEP-1P</b>	
DATE	JUN 08 2009
RECD.	JUN 22 2009

STAFF WORKSHOP  
ON  
ENERGY AND CLIMATE CHANGE

CALIFORNIA ENERGY COMMISSION  
HEARING ROOM A  
1516 NINTH STREET  
SACRAMENTO, CALIFORNIA



**ORIGINAL**

MONDAY, JUNE 8, 2009 ,

9:00 A.M.

Reported by:  
Peter Petty, CER\*\*D493

## COMMISSIONERS PRESENT

Jeffery D. Byron, Presiding Member, IEPR  
Committee; Electricity and Natural Gas  
Committee  
Laurie Ten Hope, his advisor

## STAFF PRESENT

Suzanne Korosec  
Guido Franco  
Kelly Birkinshaw  
Pam Doughman

## PRESENTERS

Dan Canyan, Scripps Institute of Oceanography  
Max Auffenhammer, UC Berkeley  
Jay Lund, UC Davis  
John Dracup, UC Berkeley  
Alan Hamlet, Washington State University  
Mark Snyder, UC Santa Cruz  
Lara Kueppers, UC Merced  
Larry Dale, Lawrence Berkeley National Laboratory (LBNL)  
Andre Lucena, LBNL  
Peter Larsen, LBNL

Public Comment

Joe McCawley, PE, Southern California Edison (SCE)  
Obadiah Bartholomy, PE, Sacramento Municipal Utility  
District (SMUD)  
Richard Halvorsen (phonetic)  
Bruce McLaughlin, California Municipal Utilities  
Association (CMUA)  
Suzanne Moser (phonetic)  
Nicholas Warden, Center for Energy Efficiency & Renewable  
Technology (CEERT)  
Elizabeth Burton, Lawrence Livermore National Laboratory  
(LLNL)

Via WebEx

## I N D E X

Page

## Proceedings

## Opening Remarks

Ms. Korosec	5
Commissioner Byron	7

## Background/Overview

Guido Franco, CEC	8
-------------------	---

## Presentations

Dan Canyon, Scripps Institute of Oceanography	14
Max Auffhammer, UC Berkeley	22
Jay Lund, UC Davis	44
John Dracup, UC Berkeley	53
Alan Hamlet, Washington State University	65
Mark Synder, UC Santa Cruz	82
Lara Kueppers, UC Merced	90
Larry Dale, Lawrence Berkeley National Laboratory (LBNL)	111
Andre Lucena, LBNL	121
Peter Larsen, LBNL	126

## Public Comments

Joe McCawley, PE, Southern California Edison	35, 76
Obadiah Bartholomy, PE, Sacramento Municipal Utility District (SMUD)	37, 57 110, 137
Richard Halvorsen (phonetic)	
40, 107	
Bruce McLaughlin, California Municipal Utilities Association (CMUA)	59
Suzanne Moser (phonetic)	
108	
Nicholas Warden, Center for Energy Efficiency & Renewable Technology (CEERT)	138
Elizabeth Burton, Lawrence Livermore National Laboratory (LLNL)	140

## Via WebEx

## INDEX CONTINUED

	<u>Page</u>
Closing Remarks	
Guido Franco	142
Adjournment	142
Certificate of Reporter	143

1

## P R O C E E D I N G S

JUNE 8, 2009

9:02 a.m.

MS. KOROSSEC: Alright, let's get started. Good morning, everyone. I am Suzanne Korosec. I lead the Energy Commission's Integrated Energy Policy Report Unit. Welcome to today's staff workshop on Energy and Climate Change, which is being held at the direction of the IEPR Committee. Just a few housekeeping items before we get started. The restrooms are out the double doors and to your left. There is a snack room on the second floor at the top of the stairs under the white awning. And if there is an emergency and we need to evacuate the building, please follow the staff out of the building to the park that is kitty-corner from the building, Roosevelt Park, and wait there for the all clear signal.

Today's workshop is being broadcast through our WebEx Conferencing System and, for those listening and speaking on that system, be aware this is being recorded. For parties using that system who want to ask a question, you can send an e-mail to the WebEx Coordinator and we will also be opening the phone lines during the public comment period and the question and answer periods so that you can ask questions during that time.

Just brief context, the Energy Commission is required by statute to develop an Integrated Energy Policy

1 Report every two years. It provides an overview of energy  
2 trends and issues that are facing California, along with  
3 policy recommendations to help the state meet its energy  
4 goals. Obviously, climate change is one of the major policy  
5 drivers for California. The 2007 IEPR discusses the  
6 importance of climate change impacts on California's energy  
7 sectors and the Scoping Order for the 2009 IEPR identified  
8 several areas that the committee asked staff to look at, to  
9 focus their attention on during the 2009 IEPR process,  
10 including examining how climate change impacts will affect  
11 energy demand, production, and infrastructure.

12           At today's workshop, our staff will be presenting  
13 information on how climate change can impact the electricity  
14 sector and we are also asking for public input to use in  
15 preparing the 2009 IEPR. We will have a number of  
16 presentations today, followed by a Q&A period for each  
17 section of presentations and, as I said, we will take  
18 comments from people online, as well. We will do people in  
19 the room first and then people online. For those in the  
20 room who ask questions or have comments, we do ask that you  
21 come up to the podium and use the microphone so that you can  
22 be heard on the WebEx and, also, it will be on the  
23 transcript. And after you are done speaking, if you could  
24 give the Court Reporter a business card, that would be  
25 helpful so they can make sure your name is spelled correctly

1 in the transcript. So with all that housekeeping out of the  
2 way, I will turn things over the Commissioner Byron for  
3 opening comments.

4 COMMISSIONER BYRON: Thank you. Good morning, Ms.  
5 Korosec, everyone. Welcome Monday morning, here at the  
6 Energy Commission. I am Commissioner Jeff Byron. I chair  
7 the Integrated Energy Policy Report and my associate member,  
8 Commissioner Boyd, is not here this morning, however he is  
9 well represented. I see one of his advisors in the  
10 audience. My advisor, to my left, is Laurie Ten Hope.

11 I would like to welcome everyone to this staff  
12 workshop on Energy and Climate Change. I note that the  
13 workshop is going to provide insights on how the energy  
14 sector may be impacted and how it could adapt to climate  
15 change. This is not my area of expertise, certainly, so I  
16 am interested in learning as much as I can here today as  
17 that impacts our policy-setting at the Energy Commission.  
18 We are going to hear about the potential changes in the  
19 electric demand, the availability of hydroelectric  
20 generation from California and the Pacific Northwest, and it  
21 is not encouraging. At this workshop, we are going to also  
22 start the discussion on how climate change may impact the  
23 availability of renewable resources, including bio-energy,  
24 wind, and solar power. And, finally, this afternoon I note  
25 that a number of researchers at Lawrence Berkeley National

1 Lab will present a new methodology on how we could estimate  
2 the vulnerability of electricity, natural gas, and energy  
3 transportation infrastructure to warming temperatures,  
4 wildfires, sea level rise, and severe weather events.

5 Now, we certainly do not expect this workshop to  
6 provide definitive answers to all of these issues; however,  
7 the research is critical to give us insights into the nature  
8 of climate change, and the preparation we need to make as a  
9 society, and certainly at the State of California. I would  
10 like to thank ahead of time the presenters and those that  
11 are here in the audience. Your input and insights to this  
12 Commission are extremely beneficial. I am going to turn the  
13 meeting over, I believe, to Mr. Franco, who is going to  
14 chair the staff workshop. And I will apologize ahead of  
15 time that I will probably have to come and go a couple of  
16 times during the workshop. But, again, thank you all for  
17 being here. Ms. Korosec?

18 MS. KOROSEC: Alright, Guido, can you take us  
19 through?

20 MR. FRANCO: Good morning, everybody. Good  
21 morning, Commissioners, Advisors. I am going to give a very  
22 brief presentation, just to give you some background about  
23 this workshop, and also to give you what you can expect from  
24 this workshop today, what we should expect from this  
25 workshop. So I am going to start with the general



1 objectives. We have three general objectives. The first  
2 one is to hear from the different researchers that have been  
3 working on climate change and research, and climate change  
4 and energy, about the potential impacts of climate change to  
5 the energy sector. And then to start discussing, because  
6 this is a new area of research, how climate change may  
7 impact renewable resources in California. And at the end,  
8 like Commission Byron said, we are going to be hearing about  
9 a proposed methodology on how we can estimate the  
10 vulnerability of the energy infrastructure sector, like  
11 admission lines, to climate change. We are going to have  
12 two [indiscernible] for these sections, one is this one,  
13 this is supposed to be a very enjoyable and informative  
14 workshop; but we will also have two White Papers, and the  
15 speakers today are preparing these two White Papers, one  
16 will be just on energy and energy demand and climate change,  
17 including hydropower and renewable resources, and the other  
18 one will be, I think, the first ever study on the  
19 vulnerability of the energy sector to climate change.

20 Before we continue discussing all of these projects and  
21 these problems, I would like to talk a little bit about past  
22 PEER studies that provide some of the background information  
23 that will be used for these White Papers. As you may know,  
24 the climate change program in the Energy Commission has four  
25 overall areas of work, one is Climate Monitoring Analysis

1 and Modeling, the second one is Improved Methods for  
2 Measuring Greenhouse Gas Emissions, the third one is  
3 studying Options for Renewed Greenhouse Gas Emissions, and  
4 the fourth one is the studies on Impacts and Adaptation  
5 Issues. So the Climate Monitoring Analysis and Modeling is  
6 one of the major activities of this area, and this area of  
7 work is the generation of climate projections for  
8 California. As we can see in the graph there, global  
9 climate models, global climate models can let us know how  
10 climate may change in the future on a global level.  
11 However, the level of geographic resolution in those models  
12 is so coarse that it cannot be used directly for climate  
13 impacts and adaptation studies at the regional levels like  
14 California. So researchers, like Scripps, for example, they  
15 have developed a statistical downscaling techniques since we  
16 have information at the coarse level for this historical  
17 period, and also we have information at the fine resolution,  
18 more or less, cell by cell in kilometers, for this  
19 historical period, we can develop statistical relationships  
20 between these outputs on the global models and the observed  
21 methodological parameters. And for the future, however, we  
22 only have the output from the global climate models. But  
23 using these statistical relationships developed with  
24 historical data, we can estimate how climate change in  
25 California the rest of the century using these statistical

1 scaling techniques, and the outputs on the global climate  
2 models.

3           However, there are some limitations with the  
4 statistical scaling techniques. One of them is that, so  
5 far, we have only previews, methological estimates of how  
6 temperature and precipitation will change in California. We  
7 do not have information about wind fields, solar  
8 remediation, and other parameters. But, still, we have a  
9 number of climate projections for California that are  
10 readily available, and Dan Canyon will talk a little bit  
11 about that. So this is the foundation for some of these  
12 workshops we have done, not only for the energy sector, but  
13 other sectors of the economy.

14           With respect to energy demand studied by Professor  
15 Mendelsohn from Yale University in 2003, he suggested that  
16 climate change will increase energy demand for cooling and  
17 efficiency demand for cooling, but will decrease energy  
18 demand for [indiscernible] heating. And now, today, we are  
19 going to hear about a new study by Professor Max  
20 Auffenhammer from UC Berkeley that suggests that we may have  
21 underestimated the potential impacts of climate change on  
22 energy demand.

23           With respect to hydro power generation, actually,  
24 Professor Jay Lund from UC Davis, I think, in 2003, provided  
25 one of the first estimates of how climate change may affect

1 low elevation hydropower units; then, in 2005, as part of  
2 the -- I believe it was 2005 -- the IEPR workshop, as  
3 environmental previews, a report suggesting that, if we do  
4 not look at high innovation hydropower units, that we may be  
5 missing the impacts. So because of that, we commissioned  
6 two studies, one by Professor Lund, and another one by  
7 Professor Dracup, Professor Lund with UC Davis, and  
8 Professor Dracup with UC Berkeley, looking at potential  
9 impacts, not only of low elevation hydropower units, but  
10 also high elevation hydropower units, using two totally  
11 different techniques. Professor Lund, we will hear later  
12 today, used a physical methodology, and Professor Dracup  
13 used a more engineering-based method. But both of them  
14 seemed to be reaching similar conclusions.

15           Now, ongoing in future PEER Studies, as you may  
16 know, the Energy Commission is developing probabilistic  
17 climate projections for California. This is an ongoing  
18 work; we started, actually, in 2003. We are going to be  
19 developing probabilistic climate projections for California  
20 -- surprise. But this time, we are also using dynamic  
21 models, so dynamic models are the models that are supposed  
22 to simulate the physics involved, and the chemistry  
23 involved, and the energy fluxes. But the models that are  
24 used are extremely competitively expensive, so it is taking  
25 a long time to develop -- to preview these climate

1 projections. The models associated with Scripps, LBNL,  
2 University of California Santa Cruz, and Lawrence Livermore  
3 National Lab, are using two domains -- in Domain A, we are  
4 using a green resolution of about 30 X 30 kilometers, and  
5 Domain B, we are using a resolution of about 10 X 10  
6 kilometers, about 7 X 7 miles. The beauty of these models  
7 is that, in addition to being physically-based, or at least  
8 in theory, physically-based, is that they also produce  
9 information about wind fields, solar radiation reaching the  
10 ground, you know, clouds aloft, etc. etc. So this is the  
11 type of information that could be used to estimate how  
12 climate change may affect resources and photovoltaics. The  
13 other studies, I have already mentioned this study of  
14 climate change on energy infrastructures held by LBNL as a  
15 study they just started, and one that we have not started  
16 yet, but we hope -- I mean, we are going to hear about some  
17 of the ideas about how to address this area of work on  
18 climate change impacts and renewable resources. The graph  
19 on the bottom indicates how the use for all these spaghetti  
20 diagrams on climate projections can be translated into  
21 probabilistic information about potential impacts. And I  
22 think the probabilistic information is going to be important  
23 because we want to know, I mean, not only the potential  
24 impacts of average changes in conditions, but also we are

1 going to actually know about the potential changes of  
2 extreme events, or low probability high impact scenarios.

3           We shall deal with all questions for this  
4 workshop. I am going to read them. I think they were part  
5 of the agenda for today's meeting; the only thing I would  
6 suggest is that we will need to ask a lot of questions, we  
7 have a lot of very high caliber researchers here with us  
8 today, we need to probe them and find out as much  
9 information as we can about policy-relevant issues. So with  
10 that, I thank you for coming here today and I think Dan  
11 Canyan will be next before we open the session for questions  
12 and comments.

13           MR. CANYAN: Well, good morning. Nice to see the  
14 Energy Commissioners doing this. Okay, I am going to  
15 hearken to the recent climate change scenarios assessment  
16 that was released through the Climate Action Team just  
17 within the last couple of months, and most of this work is  
18 related to that exercise.

19           Several collaborators -- this has been a fairly  
20 broad-based endeavor and I would like to acknowledge funding  
21 from the Energy Commission and also from NOAA. The  
22 assessments are driven by large scale climate models of the  
23 generation that was used in the Intergovernmental Panel for  
24 Climate Change, the IPCC, which we have used in this latest  
25 round of the California assessment; we have used six of

1 those models. There are actually several more that are  
2 available. Those models, along with the demographic and  
3 urban projections for California have been to some extent  
4 integrated together to look at potential impacts of climate  
5 change in California. And, of course, that has been carried  
6 through to the economic analysis. This work is ongoing,  
7 these are scenarios, they are not necessarily predictions  
8 because of the cascade of uncertainty that accompanies both  
9 the climate change models, as well as the forcings that  
10 drive them, that is, greenhouse gas emissions are, of  
11 course, uncertain. Those emissions in this case have been  
12 looked at in two different families of emission scenarios,  
13 one which is a relatively high carbon fuel intensive global  
14 economy, the so-called A2 scenario, in which emissions rise  
15 from their present day level to approximately four times  
16 that level by the end of the century, and this rises  
17 essentially monotonic through the 21<sup>st</sup> century. On the other  
18 hand, we also looked at the B1 scenario in which emissions  
19 do rise through about the middle part of the century, that  
20 is the lower panel here, but then beyond that, because of a  
21 combination of assumed regulations, technology and other  
22 social forms of adaptation, they begin to diminish, and by  
23 the end of the century, they actually are possibly lower  
24 than the present day. And, of course, there is a huge body  
25 of work that is going on to look at the emissions scenarios,

1 and look at the necessity for mitigation of greenhouse gas  
2 emissions. All this goes on -- this is the next slide, for  
3 those that are playing along online -- we have included an  
4 estimate of population and demographic change in California  
5 where, of course, by the middle -- some time in the middle  
6 part of the century, California's population is estimated to  
7 reach 50 million people and, by the end of the century, many  
8 more than that. And, of course, the areas that are growing  
9 in California are, in many cases, areas which are,  
10 regardless of climate change, are within a climate that is  
11 more severe and more challenging. So that is certainly part  
12 of the landscape that we have to consider when we look at  
13 demand for energy and other resources in the future. All  
14 climate models that are governed by greenhouse gas changes  
15 in the atmosphere are warming. It is worthwhile saying  
16 that, regardless of whether we continue to have emissions  
17 that are exceeding the natural level, which of course they  
18 have since man has really been on the scene on earth, we are  
19 committed to more climate change because the Earth is still  
20 equilibrating to the increased loading of CO<sub>2</sub> and other  
21 greenhouse gasses in the atmosphere. So the message is  
22 that, even under the best of circumstances, we will have to  
23 adapt to some amount of climate change under the  
24 circumstances that are produced by these higher end  
25 greenhouse gas emissions scenarios. It looks like we will



1 have to come to grips with something in the neighborhood of  
2 2 degrees Celsius, that is approaching 4 degrees Fahrenheit  
3 of warming, by the middle part of the present century, and  
4 potentially 8 degrees Fahrenheit or more of warming by the  
5 end of the century. That is, of course, an enormous  
6 challenge. If we, on the other hand, take a more restrained  
7 emissions track globally and, of course, this is not only  
8 California -- California is only a tenth of the U.S.  
9 emissions and a small fraction of the global emissions, so  
10 California can only lead the way, but if so, there is  
11 probably an easier outcome to adapt to, and that is laid out  
12 here in one of these spaghetti diagrams that Guido referred  
13 to in his remarks.

14           Here is a picture of one of these models. This  
15 happens to be one of the A2 scenarios under the GFDL,  
16 Geophysical Fluid Dynamics Laboratory, laboratory simulation  
17 of climate through the 21<sup>st</sup> century. This is the baseline  
18 climatological condition of summertime temperatures across  
19 the southern part of the state, and here is the middle part  
20 of the century under that simulation. The color shading  
21 here is kind of intuitive, where the red shading is warm and  
22 the blue shading is cool, and you can see how temperature  
23 especially in the interior is warming considerably. One of  
24 the properties of the latest generation of climate models is  
25 that warming is intensified in the summer period, in

1 general, and in most of the climate simulations, and there  
2 is more warming in Continental interiors than there is along  
3 the coastal regime.

4           That was mean conditions. The picture I just  
5 showed you was the 30-year average. This portrait here, if  
6 you look at the bottom, is a tally account of heat-waves in  
7 the San Diego region from the historical period through the  
8 end of the century under two different emission scenarios.  
9 Under the historical period, under this definition of heat-  
10 waves, which is the 99 percentile maximum temperature day,  
11 we achieve a heat-wave at a rate of about one and a half  
12 days per year, per summer. By the end of the century, even  
13 under the B1 scenario, the more environmentally restrained,  
14 friendly scenario, we are seeing heat-waves that approach 10  
15 days per year, and under the more intense greenhouse gas  
16 emissions scenario, the A2 scenario, we are seeing heat-  
17 waves that probably exceed on average 15 days per year. So  
18 we are seeing under that higher end scenario, a 10 times  
19 increase in the number of warm days, hot days. And those  
20 days, if you look at the top chart, are as time progresses  
21 through the 21<sup>st</sup> century, are occurring earlier, are becoming  
22 more intense, and are occurring later on in the season. So  
23 the heat-wave season is essentially widening through the  
24 lens, of course, of the climate model.

1           Well, sea-level rise is also a great issue for  
2 California. We are a coastal state, we have an estuary  
3 through which we draw a lot of our water supply. And,  
4 historically, sea levels have risen both globally and along  
5 our coast at the rate of approximately half of a foot in a  
6 century. The climate models, because ocean water is  
7 expanding thermally as climate warming proceeds, and because  
8 the oceans are accumulating mass, they are accumulating more  
9 water as Greenland and Antarctica and some of the other  
10 land-based ice stockpiles melt, we are seeing in the future  
11 the prospects of sea-level rise reaching something in the  
12 neighborhood of a foot and a half to perhaps a bit more by  
13 the middle part of the century, and reaching something in  
14 the neighborhood, a range of two feet to about five feet by  
15 the end of the century. That is an envelope of uncertainty  
16 under the methodology that we have used to estimate sea-  
17 level rise along our coast here in California. So we have  
18 perhaps big big challenges in the way of coastal issues.

19           So just to sum up in this latest round of  
20 scenarios assessments, we looked at more models than we did  
21 previously in the 2006 assessment. One thing that I did not  
22 mention, but is a glaring problem that seems to be emerging  
23 from the latest set of climate models is that there is a  
24 drying trend over much of California. If you look at the  
25 consensus of climate change models, not all models, but more

1    than half of them are drying out by a few to several  
2    percent drier than present day conditions. So that is a  
3    property that we will have to keep an eye on as climate  
4    models continue to develop and as time goes on. And, of  
5    course, the sea-level rise problem is another issue. This  
6    report is available online, it is represented here. And  
7    thanks for your attention.

8               MR. FRANCO: Thank you very much, Dan. Now we  
9    have time for questions.

10              MR. BIRKINSHAW: Dan, you do not mention --

11              COMMISSIONER BYRON: Mr. Birkinshaw, go ahead and  
12    identify yourself.

13              MR. BIRKINSHAW: This is Kelly Birkinshaw. I am  
14    an advisor to Commissioner James Boyd. My question has to  
15    do about these probabilistic scenarios that Guido referenced  
16    in his presentation. Can you speak to what are some of the  
17    challenges of developing those probabilistic scenarios? Are  
18    we really going to be able to, in the near term, be able to  
19    discern the probability of some of these more extreme  
20    impacts that you mentioned in your presentation?

21              MR. CANYAN: Yeah, great question, Kelly. Thanks.  
22    Well, we actually can -- if you accept the present day  
23    environment of climate models, we can construct for certain  
24    variables, we can do just that -- and we have looked at  
25    essentially probabilistic climate scenarios for temperature

1 and for precipitation and we can do that for temperature  
2 events. We can look at heat-waves under your definition.  
3 We cannot do that, so far, for variables such as wind  
4 storms, and we cannot do that for cloud cover. So there are  
5 certain elements that are relatively, readily downscaled, as  
6 Guido mentioned, to the California landscape. I think Mark  
7 Snyder is going to talk about this in a bit. But there, we  
8 have to rely on more intensive calculations using dynamical  
9 models, instead of these statistical constructs, in order to  
10 work that out. So we have actually made great strides along  
11 those lines. We have been sampling through ensembles of  
12 climate models. The basic elements are there and I think we  
13 have a foundation that we will build upon, but for some of  
14 the more complicated effects that involve wind, perhaps  
15 heavy precipitation events which are not necessarily well-  
16 captured by statistical gamut, and some other phenomena that  
17 probably would be of great interest to the energy producer  
18 and consumer, we are still kind of on the frontier. But we  
19 are getting there and I think we will be able to do this.  
20 The one thing I would say is that this is -- I think we have  
21 to accept that these statistics that we will come up with  
22 are going to be kind of a moving playing field because, as  
23 the global climate models change, which are the source of  
24 all this information, and that will happen throughout our

1 careers and beyond, we will have new guidance to drive the  
2 regional assessments that we make here in California.

3 MR. FRANCO: Thank you very much, Dan. Now we are  
4 going to go to the next speaker.

5 MS. KAROSEK: But before we do, I would like to  
6 ask if there are any questions from the WebEx people. All  
7 right, the lines are open. Is anybody on line who would  
8 like to ask a question? Okay, we are going to move on.

9 MR. FRANCO: Okay, the next talk is by Professor  
10 Max Auffenhammer. He has done a new groundbreaking, I  
11 think, analysis and I hope you will enjoy his presentation  
12 as much as I disagree. Max.

13 PROFESSOR AUFFENHAMMER: Thank you, Guido. I  
14 would like to acknowledge the CEC and especially the PEER  
15 Program for funding this work. What I am going to do is I  
16 am going through a lot of slides. The whole paper is  
17 available right out the door and on the CEC website, so you  
18 can look at more details in case I glance over anything that  
19 is of interest to you.

20 California's residential electricity consumption -  
21 - and this is what this paper deals with, so we are going to  
22 ignore commercial and industrial here -- more than  
23 quadruples over the past almost 15 years now. It has gone  
24 from a quarter of total electricity consumption to 34  
25 percent, roughly a third. And to put that in perspective,

1 the residential sector in California consumes as much  
2 electricity as roughly Finland, or Argentina, or half of  
3 Mexico. Californians get their electricity from the three  
4 major IOUs and over 100 of the Munis. Now, per capita  
5 consumption, California has been held as the example to the  
6 world. Up until 1974, per capita residential electricity  
7 consumption was growing at roughly seven percent per year,  
8 and thereafter has stayed roughly flat. So if we take the  
9 period up until 1994, per capita consumption grew at about  
10 .3 percent, and if we separately look at the past ten years,  
11 that trend is growing a little bit more quickly, still no  
12 where nearly as quickly as it did before 1974, but growth  
13 seems to have been picking up a little bit, and that  
14 difference is statistically significant. So part of the  
15 question here is, you know, some of this may be due to  
16 climate induced warming that we are already experiencing, or  
17 other factors. So this paper deals with looking out into  
18 the future, what are the impacts of climate change on  
19 residential electricity consumption?

20 Now, others have done this; there is a literature  
21 in *Engineering* that uses these bottom-up simulation models;  
22 the take home message here is, most of these simulated  
23 impacts on residential and aggregate consumption are pretty  
24 small due to climate change, somewhere between 10 and 15  
25 percent. Econometricians have done the same thing, but

1 looked instead of counting air conditioners and  
2 refrigerators, and things like that, actually looked at data  
3 and fit statistical models between electricity consumption  
4 and temperature trends, and then extrapolated out into the  
5 future what this means for consumption. The paper that  
6 stands out here is by Guido Franco and Alan Sanstad, who,  
7 looking at all sectors, meaning total load for California,  
8 find something between a 1 and 20 percent increase by 2099,  
9 depending on what warming scenario and climate model use.  
10 And maybe most interesting here, there is a new paper by  
11 Olivia Deschenes and Michael Greenstone who look across  
12 states in the United States, over 40 years of time, and find  
13 that there is a 15-30 percent increase in residential  
14 electricity consumption due to climate change. So what do  
15 we do here that others have not done? We essentially  
16 exploit the fact that weather still at this point is beyond  
17 our control, so we exploit the fact that weather is random,  
18 and we look at the correlation between residential  
19 electricity consumption and daily weather. So we are going  
20 to allow a non-linear form between weather and electricity  
21 consumption, which basically means a one degree warming at a  
22 low temperature range vs. a one degree warming at a high  
23 temperature range will have differential effects, meaning if  
24 it is 80 degrees and it gets warmer, we may turn on the air  
25 conditioner vs. if it is 20 degrees and it gets warmer, we



1 may actually turn off your heater, so we would expect a  
2 differential effect on electricity consumption. Also,  
3 California is very heterogeneous, so we are going to allow  
4 for how often people turn on and off their air conditioners  
5 to vary across the different areas of the state. So then we  
6 are going to simulate what aggregate consumption from the  
7 residential sector is for different scenarios of warming,  
8 different price scenarios that potentially could be due to  
9 something like a cap and trade, or a tax, and different  
10 population scenarios. And I will give you a brief flavor of  
11 those in a minute.

12           Why did Guido call this paper "groundbreaking?" I  
13 like that word. I do not think it is -- it is maybe not  
14 groundbreaking, but it is certainly interesting. Thanks to  
15 an agreement between the UC Energy Institute and the three  
16 investor-owned utilities, we have access to the entirety of  
17 the residential electricity bills for four years. So from  
18 2003 to 2006, I observed every single household's  
19 electricity bill for the roughly 80 percent of the  
20 California households that are served by the IOUs, so I know  
21 your electricity bill. The only thing I know about you,  
22 however, is which Zip Code you are located in, and how much  
23 you pay for electricity, and how much you consumed. I do  
24 not know your paycheck, I do not know whether you have an  
25 air conditioner or not, and I do not know how big your house

1 is, which is something we would certainly like to know. We  
2 also did this separately for the households that get lower  
3 electricity prices due to the CARE Program, and we threw out  
4 weird households. By "weird households," I mean vacation  
5 homes, houses that consume less than 2 Kilowatt (kW) hours a  
6 month, and households that I like to refer to have small  
7 agricultural home productions, meaning up in the northern  
8 part of the states that have just excessive amounts of  
9 electricity consumption because we do not consider those  
10 representative. So we throw those out, and then we randomly  
11 sample from this dataset by Zip Code in order to get a  
12 representative sample.

13           Since I only have 15 minutes, we use all of the  
14 weather stations that deliver reliable data, and we match to  
15 each single electricity bill, meaning we have the beginning  
16 date and the end date for your electricity bill, we sort the  
17 average temperature of each day during your bill into a  
18 variety of bins, and count the number of days for each  
19 electricity bill your temperature has fallen into any of  
20 these bins. We do this for a couple hundred million bills,  
21 it takes a long time.

22           This map here shows the data coverage, so green  
23 here are Zip Codes which we have households with electricity  
24 bills for, the blue dots are the weather stations that we  
25 used in our econometric estimation, so we simply match each

1 Zip Code to the closest weather station and assumed that  
2 that weather station is the representative climate -- or  
3 weather -- for that particular Zip Code. I refer to letting  
4 the correlation between electricity consumption and weather  
5 vary across the state. We all know, if you have ever driven  
6 from El Centro to the northern end of the state to see some  
7 Shakespeare, what you notice is it is really hot and dry in  
8 the southeastern part of the states, and then as you get  
9 towards the coast and you drive past Santa Barbara, the  
10 climate is nice and constant, there is not much need for an  
11 air-conditioner at any time of the year, and this certainly  
12 holds true along the coastal stretch. So we would expect  
13 that how households respond to changes in climate or  
14 temperature varies greatly, depending on which one of these  
15 climate zones vary. And these are the CEC Building Code  
16 Climate Zones, and building codes vary across these climate  
17 zones, as well. So we do all of our estimations separately  
18 for each of these climate zones.

19 I am going to skip over 20 pages of statistics and  
20 just show you what this energy response looks like. So for  
21 each of these 16 zones, using different methods, we estimate  
22 how much in percentage terms electricity consumption per  
23 household goes up for one more day spent in any of these  
24 temperature zones. So let me look at Zone 7, which is the  
25 bottom left panel right here, it is roughly a flat

1 temperature response curve right here, that is San Diego.  
2 So having gotten my PhD in San Diego, there is very little  
3 need for an air-conditioner in coastal San Diego down there.  
4 It is 70 degrees and sunny most of the year, as Dan can tell  
5 you, and air-conditioner penetration is very low. So at  
6 high temperature ranges, we would expect little increase in  
7 electricity consumption. Now, San Diego is interesting  
8 because we know a lot historically about San Diego  
9 electricity consumption, so a lot of the effects we think  
10 about when we think about climate change impacts on  
11 electricity demand comes from San Diego.

12           Let me show you another one. Zone 15, bottom left  
13 here, this is El Centro, right? So this is the southeastern  
14 part of the state, where what you see is at low temperature  
15 ranges, you see a slight drop in electricity consumption,  
16 that is if it gets warmer, and with cold nights you are less  
17 likely to use electric heating, which is scarce in  
18 California, or you turn up your heater and you use the fans  
19 that drive your natural gas heater less frequently, so it is  
20 consistent with the drop here. But at high temperature  
21 ranges, you see a tremendous increase in electricity  
22 consumption. So the take away message from these couple of  
23 graphs here is that temperature response is very  
24 heterogeneous across California. The areas that are already  
25 pretty hot have a rather steep, non-linear increase in

1 electricity consumption at higher temperature ranges than  
2 the areas in coastal zones. Now, if we link this to a  
3 climate model, here, we use the NCAR PCM model because that  
4 is one I have historically worked with, we basically take  
5 these response functions, do some proper matching with these  
6 households and Zip Codes, and simulate what electricity  
7 consumption would be 20, 40, 60 and 80 years out of sample.  
8 So linking the climate model, just to see what that looks  
9 like, here is the distribution of days, for six  
10 representative -- or maybe not representative -- pictures  
11 that looked really good -- locations in California, showing  
12 the change in the number of days in each of these bins.  
13 What you see for Imperial, which again is the southeastern  
14 part of the State, you see a huge increase in the hottest  
15 number of days, but across all the different locations here,  
16 what you see is you see right where it shifts in the number  
17 of days spent in each of these bins. So what you get is you  
18 get a higher number of days spent in the higher degree bins,  
19 and a lower number spent in the lower number of degree bins.  
20 The problem with, for example, Imperial, is one more day in  
21 the highest temperature bin in Imperial gives you a much  
22 higher increase in electricity consumption than one higher  
23 day in, for example, San Diego, or Los Angeles in the  
24 extreme heat, then, because the electricity response is much  
25 less sensitive.

1           So what this does, the pictures I am about to  
2 show you, it assumes that people who right now live in Santa  
3 Barbara are not going to buy additional air-conditioners,  
4 and it also is going to assume that the CEC and policy-  
5 makers in California are not going to pass any new appliance  
6 codes. So holding technology constant, and holding consumer  
7 behavior constant at the current state, this is what  
8 projected per capita or per household electricity  
9 consumption looks like over the next 80 years. What you see  
10 here is areas that are yellow or red denote increases in  
11 electricity consumption, areas that are green denote slight  
12 decreases in electricity consumption, but what you see by  
13 the end of the century, mostly the Central Valley and the  
14 southeastern part in L.A. areas of the state experience  
15 pretty significant increases in per household electricity  
16 consumption. This is the happy scenario, the B-1 scenario.  
17 The more scary A-2 scenario, which is the one with the  
18 higher degree of warming, if you look at the end of the  
19 century at the bottom right here, the Central Valley,  
20 Sacramento Area, L.A., and Southeastern part of the state,  
21 you see increases in some Zip Codes in excess of 60 to 80  
22 percent of household electricity consumption due to warming.  
23 Now, per household consumption is interesting, but from a  
24 planning perspective, which is what this meeting is about,  
25 what is most interesting is what happens to aggregate

1 increase in electricity demand. Now, this table has a lot  
2 of different numbers in it. The one I want to point out  
3 here is basically the first column that says BCC82  
4 (phonetic) Equidistant, so the first column of numbers.  
5 That shows for the scenario that has high GHG emissions  
6 overall, we see from 2000 to 2019, we would expect a five  
7 percent aggregate increase in residential electricity  
8 consumption due to climate change over the 1980 to 1999  
9 period, and by the end of the century, we would expect a 48  
10 percent increase in aggregate electricity consumption from  
11 the residential sector due to climate change. Under the not  
12 so scary emission scenario, B-1, that overall aggregate  
13 increase is about 20 percent. So these numbers are  
14 significantly bigger than what other folks have found.

15           We also do some scenarios with prices, so here we  
16 assume a price response of residential electricity demand  
17 which we do not personally estimate, we have taken out of  
18 the literature of people who do this for a living and do a  
19 much better job than we could, so we assign each Zip Code a  
20 price elasticity or a price responsiveness of electricity  
21 demand based on average income there, and go through two  
22 scenarios. One is we let prices increase in 2020 by 30  
23 percent, and then a second scenario lets prices increase  
24 again in 2040 by another 30 percent, just to put in  
25 perspective what the effect of higher prices would be. So

1 the constant price scenario you just saw, that is that 48  
2 percent increase in electricity consumption, if we let  
3 prices increase by 30 percent in 2020, and let prices be  
4 higher for the rest of the century, we see that the overall  
5 impact by end of the century is roughly 33 percent. If we  
6 let prices increase again by 30 percent from 2040 on, we see  
7 that the increase in aggregate consumption is about 18  
8 percent by the end of the century, so cut by 30 percent.

9           Now, I want to put a word in caution in here.  
10 These are very optimistic price elasticities, more recent  
11 work by Severin Borenstein at the UC Energy Institute are  
12 used, that the price response may be much less than what the  
13 numbers are that we used here, potentially limiting the  
14 effectiveness of these price-based mechanisms. But this is  
15 very recent work, so we are still working on this. One last  
16 thing here is, climate change is important, but relative to  
17 population uncertainty, it is roughly minor, so we use the  
18 PPIC population projections at the county level out to 2100.  
19 We use three scenarios, .2 percent growth, .9 percent  
20 growth, and 1.5 percent growth. The high population growth  
21 scenario is equivalent to 120 million people living in  
22 California by the end of the century, which is, just to give  
23 you an idea of what that means, I do not know if we will  
24 ever get there. So the low population growth scenario with  
25 climate change, which is a .2 percent per year population



1 growth indicates that electricity demand from the  
2 residential sector more than doubles, 113 percent; the  
3 medium population growth scenario, climate change and  
4 population growth, will lead to a 258 percent increase in  
5 aggregate consumption; and then that somewhat fantastic 120  
6 million scenario, is that total electricity consumption will  
7 be 460 percent higher than it is in 1980 to 1999.

8           In the paper, we do a scenario bounding the worst  
9 and best case scenarios, stepping away from population and  
10 prices, again, just looking at climate change where we let  
11 the whole state look like San Diego and then we let the  
12 whole state look like the Central Valley to show what the  
13 importance of this temperature response function is. That  
14 is something that policy-makers can actually influence,  
15 which, if we let the whole state be like Zone 7, which is  
16 San Diego, there is no effect from climate change in this  
17 simulation, vs. if we let the whole state be like the  
18 Central Valley, aggregate increase in consumption would be  
19 122 percent. So, depending on what this temperature  
20 responsiveness of demand is, it really has a great impact on  
21 what overall aggregate consumption is going to be.

22           Too many numbers? The difference between CARE and  
23 non-CARE households is not that great. CARE households are  
24 less responsive than non-CARE households, which has to do  
25 with their smaller households -- sorry, not necessarily less

1 responsible, but the effects due to CARE households are  
2 smaller. CARE households are smaller and have lower  
3 penetration of these high consumption, high on gadgets is  
4 the story we are telling here, but they are not that  
5 different from non-CARE households which I did not find that  
6 surprising.

7           So in summary, heterogeneity matters. The take-  
8 away message here is energy consumption response to  
9 temperature is very heterogeneous across the state. The  
10 issue is that areas that are going to experience the highest  
11 degree of warming are also the ones that have the steepest  
12 response of consumption due to temperature, so if you just  
13 look at the average across the entire state, you gloss over  
14 that source of heterogeneity, so really treating the state  
15 as these separate zones and explicitly acknowledging that  
16 there are these different functional forms gives you a much  
17 higher estimated impact. One quick thing, what are these  
18 scenarios? A-2 and B-1 are the ones we looked at, the black  
19 line and the green line, in 2004, actual emissions were much  
20 higher than what we saw in this A-2 scenario. So right now,  
21 the A-2 scenario seems to be the most likely unless global  
22 efforts towards regulating climate change are truly  
23 effective. And what trajectory we are on, these are just  
24 the IPCC emissions trajectories for CO<sub>2</sub> right here, is going  
25 to greatly influence what the overall effects are here, and

1 these are roughly beyond the control of California. All  
2 right? That is all I am going to say.

3 COMMISSIONER BYRON: Thank you.

4 PROFESSOR AUFFENHAMMER: Thank you.

5 MR. FRANCO: Thank you, Max. So we are going to  
6 have questions now. Before you ask your question, just  
7 identify yourself and your affiliation.

8 MR. McCAWLEY: Good morning. My name is Joe  
9 McCawley. I am with Southern California Edison (SCE). I  
10 have two questions. The first one is sort of a  
11 clarification. I am an electric guy, so I like to  
12 megawatts, I like megawatt-hours. The water guys and the  
13 thermal guys, I am not so sure. You use the word "demand"  
14 and you use the word "consumption," you use the words  
15 "aggregate demand." Are they synonymous with KWH?

16 PROFESSOR AUFFENHAMMER: Yes.

17 MR. McCAWLEY: Okay. With regards to the impact  
18 peak, have you done any analysis as to the consumption uses  
19 during the day, the impact that would have on peak and the  
20 correlation with that is in the potential impact on initial  
21 capacity. And I recognize what residential meters, there is  
22 no type of use, it is very challenging. I am just wondering  
23 if that was any part of your study.

24 PROFESSOR AUFFENHAMMER: So it is not in this  
25 study. We are currently working on utility level estimates

1 using hourly load data and using weighted temperature,  
2 hourly temperatures to get the utility specific measure of  
3 peak. I know Guido and Alan have, for ISO, estimates of  
4 what the changes in peak demand are for the entire state,  
5 but we are trying to again say, you know, these service  
6 territories are so different. That would be an interesting  
7 question. The preliminary figures which I am not happy to  
8 write down yet look very consistent with what we are finding  
9 in this study, and for the utility you work for, they look  
10 rather sizeable, just because of where your service  
11 territory is.

12 MR. McCAWLEY: Sure. The other question I have  
13 is, you made reference from a price differential,  
14 referencing AB 32, and I think it was the CEC or the PUC,  
15 one of their analyses that prices would increase by 30  
16 percent. My understanding is that that increase, 30 percent  
17 relative to now, is through now and 2020, so it is more of a  
18 gradual. And my understanding in reading your report is you  
19 showed it as a -- I think you used the word "discrete" which  
20 I think is the same as the step function in 2020, and then  
21 again another discrete 30 percent in 2040. I am wondering  
22 from an impact standpoint if you had given any consideration  
23 for the impact of a gradual price increase on consumption  
24 post 2020, vs. a step increase of 30 percent in 2020 to  
25 subsequent consumption?

1           PROFESSOR AUFFENHAMMER: I think that is a really  
2 interesting question and we could get into a long discussion  
3 about which is the right price elasticity to use here, so  
4 these figures we used are these short-run price elasticities  
5 that assume that you do not anticipate this increase in  
6 prices. If you can anticipate the slow gradual increase in  
7 prices, how you are going to respond to that is going to  
8 vary greatly. We were given this sort of stepped increase  
9 by 30 percent and we have not really done the smooth phase-  
10 in. I did a quick estimate using these same price  
11 elasticities, which are not the same ones, and the figures  
12 looked slightly slower, smaller, because you have got this  
13 gradual phase-in, but just from an algebraic point of view,  
14 unless you use different elasticities, the numbers are not  
15 going to look that much different.

16           MR. McCAWLEY: Thank you.

17           PROFESSOR AUFFENHAMMER: All right, thank you.  
18 One follow-up to your question is, we used demand and  
19 consumption interchangeably in the current version of the  
20 report. We have turned around and changed that to  
21 consumption in the paper that is going to go out to the  
22 academic journal.

23           MR. BARTHOLOMY: Hi, Obadiah Bartholomy with the  
24 Sacramento Municipal Utility District (SMUD), also I had a  
25 similar question on the demand question and in particular I

1 have heard the presentation suggesting night-time  
2 temperatures will increase faster than day-time temperature,  
3 so I look forward to seeing the evolution of this paper with  
4 the hourly profiles. Also, it would be interesting to see  
5 service territory by service territory, what the impacts  
6 are. You mentioned much lower impacts for a San Diego type  
7 profile as compared to a Central Valley profile, and I am  
8 guessing that these numbers, in summary, probably understate  
9 impacts in the Central Valley?

10 PROFESSOR AUFFENHAMMER: Uh huh.

11 MR. BARTHOLOMY: So is that going to be better  
12 documented in the final version of the paper in terms of the  
13 regional impacts on --

14 PROFESSOR AUFFENHAMMER: We could, I mean, I have  
15 these results by Zip Code, so I could easily, you know, I  
16 can draw boundaries any way that is interesting. So if that  
17 would be an interesting scenario, I would be happy to just  
18 draw up these numbers.

19 MR. BARTHOLOMY: Okay, I know it is going to end  
20 up being a lot of numbers, but it would be --

21 PROFESSOR AUFFENHAMMER: No, that is a good  
22 suggestion. So we could throw that in.

23 MR. BARTHOLOMY: Thank you.

24 PROFESSOR AUFFENHAMMER: Thanks.

1           MR. DALE: Larry Dale, Lawrence Berkeley Lab. I  
2 should have asked you this a long time ago, but I am just  
3 curious to know if the projections in which you are  
4 comparing San Diego-like conditions with Central Valley-like  
5 conditions, have you looked at a scenario in which San Diego  
6 becomes more like the Central Valley, so that more customers  
7 have air conditioners? And is that a potential bias in the  
8 estimates? When might that be understating the facts?

9           PROFESSOR AUFFENHAMMER: So, again, the big target  
10 in this whole study is I keep things as they are for now,  
11 and then we do this sort of boundary -- bounding exercise  
12 where the whole state is like San Diego, or the whole state  
13 is like the Central Valley. What we are wanting to do next  
14 is actually really dive into what is driving this  
15 heterogeneity in temperature response by looking at income,  
16 looking at air conditioner penetration, looking at all kinds  
17 of factors that would, you know, from a behavioral point of  
18 view, fact how responsive your electricity consumption to  
19 temperature is. So what we are going to do is we are going  
20 to interact these response functions with, you know, air-  
21 conditioner penetration at whatever spatial level it is  
22 available and see whether we can separate out what drives  
23 this, and then do more intelligent simulations by saying,  
24 "What if air conditioner penetration goes up by 20 percent  
25 in San Diego? What would that do to the responsiveness and

1    what would that then do to impact overall?"  It is a  
2    trickier problem to do statistically because you have to  
3    keep track of more variables, but it is doable.  So that  
4    will be next year.

5               MR. DALE:  Thanks.

6               MR. FRANCO:  We have time for more questions so --

7               PROFESSOR AUFFENHAMMER:  Do you want to ask the  
8    online folks?

9               MS. KOROSEC:  All right, we are opening the lines  
10   now for the WebEx folks, so if you have questions, all the  
11   lines are unmuted.  Hello?  Can you hear us?

12              MR. HALVORSEN:  Barely.

13              MS. KOROSEC:  All right, can you go ahead and  
14   identify yourself, please?

15              MR. HALVORSEN:  I am Richard Halvorsen.  I live in  
16   Yucca Valley, California, and I am with Energy Management  
17   Systems.  And I did a different survey, not so much based on  
18   weather, but on appliances and how they are used.  And I  
19   found that the swimming pools use a great deal of energy.

20              PROFESSOR AUFFENHAMMER:  So your question is did  
21   we account for that?

22              MR. HALVORSEN:  Yes, did you?

23              PROFESSOR AUFFENHAMMER:  So implicitly, yes.  
24   Right?  So I know how much electricity you use in your  
25   household, I do not know which use that comes from, so I



1 cannot simulate explicitly what happens if, you know, the  
2 number of swimming pools goes up by 10 or goes down by 10  
3 percent in the future; but it is in these response  
4 functions.

5 MR. HALVORSEN: Well, I did a study on one home,  
6 okay, in Yucca Valley. And his daily usage was -- it was 66  
7 kilowatts per day and then I went in and I showed him the  
8 different things that he could do, he changed out the light  
9 bulbs, and then we got the usage back on the pool, and we  
10 reduced his average daily consumption by I think it was 25  
11 kilowatts a day.

12 PROFESSOR AUFFENHAMMER: Wow, and then you could  
13 do solar thermal, too, which would, you know, you could heat  
14 the pool without using your --

15 MR. HALVORSEN: Well, making people aware of what  
16 uses what helps a lot, just to teach them. Most people  
17 cannot even figure out their miles per gallon, let alone  
18 their electricity bill.

19 PROFESSOR AUFFENHAMMER: Yeah, that is why we will  
20 get these nice in-home displays in real time metering and  
21 that will change all that.

22 MR. HALVORSEN: At what cost?

23 PROFESSOR AUFFENHAMMER: I do not know the answer  
24 to that.

1 MS. KOROSEC: Yeah, that is a little bit out of  
2 the scope of this --

3 MR. HALVORSEN: What is going to be the cost of  
4 it? That is something that we need to determine. Is it  
5 better to educate people? Or is it better to put it in and  
6 the utilities do it? And the state does it? I think it is  
7 better to educate the end-user.

8 MS. KOROSEC: Yeah. Thank you for your question,  
9 and we will certainly take that into consideration. Are  
10 there any other questions from the WebEx?

11 MR. HALVORSEN: Ma'am?

12 MS. KOROSEC: Yes?

13 COMMISSIONER BYRON: Dr. Auffenhammer, before you  
14 go, if I may ask one more question?

15 PROFESSOR AUFFENHAMMER: Yeah, of course.

16 COMMISSIONER BYRON: Very interesting study and I  
17 am quite concerned as you indicated about what may be the  
18 limited price response that Dr. Borenstein's work indicates,  
19 that and maybe another fact that we do not think about very  
20 much, and that is an aging population base tends to use more  
21 cooling, probably, than less. It is not just the  
22 installation of AC, it is what you set it at. So, very  
23 interesting study, not encouraging though in terms of the  
24 amount of electric use that is going to be necessary to meet  
25 the growing demand.

1           PROFESSOR AUFFENHAMMER: Or it stresses the  
2 importance of, you know, educating people on how to use  
3 these appliances and making sure we have the most efficient  
4 appliances at a reasonable cost.

5           COMMISSIONER BYRON: Which leads to another  
6 question. Did you assume all the installed efficiency -- I  
7 believe you said early on that you did not, that you held  
8 everything constant.

9           PROFESSOR AUFFENHAMMER: So right now it stays  
10 constant, so there are no -- so in the estimation, we allow  
11 for these unobservable trends, but we did not assume any  
12 additional improvements in efficiency. So if you assume  
13 additional improvements in efficiency on top of what is  
14 already happening, you would have to -- the estimated  
15 effects would come down.

16          COMMISSIONER BYRON: Well, we look forward to more  
17 work in this area. Thank you.

18          PROFESSOR AUFFENHAMMER: Great, thank you so much.

19          MR. FRANCO: Thank you, Max. Very interesting  
20 presentation. The next presentation is by Professor Jay  
21 Lund from UC Davis. I think like three years ago, I  
22 [indiscernible] to Professor Jay Lund. The energy  
23 information on this puts the real deficit on monthly  
24 hydropower organization by different units in California,  
25 actually, all over the United States, and asked him to take

1 a look because we may -- I thought we may be able to use it  
2 to estimate the potential in passive climate change on high  
3 and hydro power units. So we will hear about that now.

4 PROFESSOR LUND: Thank you, Guido. Most of this  
5 work was done by Kaveh Madani and, as you will see, we also  
6 have a lot of collaborations we have had with the Berkeley  
7 Group, particularly Sebastian Vicuna. This data set he sent  
8 was really kind of interesting. It is kind of fun to look  
9 at a dataset and see what you can do with it and the  
10 question was, well, how do you look at hydropower in  
11 California without looking at every one of the 150 plants  
12 that is out there. There are like 150 to 400 plants that  
13 generate hydropower in the state. And so what we came up  
14 with was a quasi-statistical, quasi-engineering approach,  
15 where -- based on conservation of energy, rather than  
16 conservation of mass. So that is the initial result that I  
17 show here, but I think the conclusions are pretty robust, no  
18 matter which approach you take. And I think Professor  
19 Dracup's presentation will emphasize that, as well. I want  
20 to cover just a couple of things here today, a little  
21 overview of hydropower in California. In California, we  
22 have two major types of hydropower systems here. The low  
23 elevation hydropower systems that come out of Folsom and  
24 Shasta and Orville, from the big water supply reservoirs  
25 that are lower down, and then we have the high elevation

1 system which is run by Southern California Edison, and  
2 PG&E, and SMUD, and a few others. And these are very  
3 different kinds of systems. Here is a picture of a high  
4 elevation plant, it was a picture taken in 1929, again, also  
5 indicating that many of these plants are really quite old.  
6 They were established for decades. This is a very high  
7 elevation plant that you will notice the huge pen stock, the  
8 huge distance of pen stock between the turbines and where  
9 the water is dropping from. The big difference with Folsom  
10 is you have the turbines right by the plant and they are  
11 very much affected by the water elevation.

12           Here, the elements of this hydropower system, we  
13 have got the high elevation power plants up here, we have  
14 the low elevation hydropower system with some pump storage  
15 that, I think, become more important over time. We have  
16 imports of hydropower, very important imports of hydropower  
17 from the Pacific Northwest and a little bit from lower  
18 Colorado River. I think Alan Hamlet is supposed to give a  
19 talk later today about this, which I am excited to hear.  
20 This is a very important component. The power demands,  
21 again, nice presentations earlier, a very important aspect  
22 because hydropower operates to respond to power demands, and  
23 so as you change the shape of the power demands, there will  
24 be a nice curve -- from the presentation by Professor Dracup  
25 -- that shows the hourly price distribution of power, and

1 then some ability to store water in aquifers, which can  
2 change the demands for power. Just to give you a general  
3 sense, here is total hydropower of about 25,000 gigawatt-  
4 hours per year in 2004, out of 275. This is broken down  
5 between a high elevation of about 25,900 for low elevation,  
6 we get some out of pump storage, but another nine comes from  
7 the Pacific Northwest, and then compared to all renewables,  
8 it is pretty large. So this gives you a general perspective  
9 on where hydropower fits and the different hydropower  
10 elements in California.

11           So there are a lot of different kinds of climate  
12 change effects that you can on hydropower, energy demands  
13 and prices, just those changes alone will drive how  
14 hydropower operates. The timing and availability of water,  
15 certainly, we talked a lot about the accelerated spring  
16 snowmelt and things like that. The quantity of water  
17 available, if it is drier, there is less fuel for hydropower  
18 plants. You know, they are fueled by run-off, so if you  
19 look -- all the studies will agree on this, that the  
20 hydropower production on an annual basis is directly  
21 proportional to the amount of runoff. You can be a trained  
22 monkey to do that model.

23           The availability of hydropower import, I think  
24 this is an unrealized importance so far. We add a little  
25 bit of thermal generated efficiency that will affect

1 hydropower demand, things like that. And I think another  
2 neglected element that we have not studied so much, although  
3 we are doing some of that work at Davis now, is to look at  
4 the environmental sensitivity of hydropower operations when  
5 you have a warmer climate and you are less able to maintain  
6 cold water pools downstream of hydropower facilities. We  
7 think there might be a looming regulatory problem there.  
8 There have been a whole bunch of climate and hydropower  
9 studies, certainly at the low elevations. Some folks from  
10 my DWR, and we have done our own stuff with our water supply  
11 model, CALVIN. High elevation studies, you will see some  
12 examples, U.C. Berkeley for the SMUD System, and then the  
13 Southern California Edison System, you will see some slides  
14 from our results for state-wide, this little model we call  
15 the EBOM, Energy Based Optimization Model. Work on imported  
16 hydropower availability at the University of Washington, and  
17 then electricity demand. There are a lot of studies. I  
18 mean, fortunately, we have learned some things out of these.  
19 For the lower elevation hydropower, you can see this with a  
20 dry planet warming, a paleodrought, we took the worst thing  
21 that is on the paleo record and we ran it through our CALVIN  
22 model to see what it does to hydropower generation, and you  
23 will see that, on balance, for the low elevation system, we  
24 have a lot of storage. And we tend to release water from  
25 the low elevation system for water supply purposes, so it

1 does not matter very much for that low elevation hydropower  
2 when the water arrives, it matters when we release it for  
3 water supply purposes, and that is when we generate the  
4 power. We will, of course, be reducing the amount of power  
5 that is generated if it is drier, so it is very sensitive to  
6 the warmer or drier aspects of climate change, but not very  
7 much to the seasonal shifts because these reservoirs are so  
8 large. This is just another way of showing that.

9           On to the high elevation power systems. You can  
10 see all these blue dots there, there are almost 160 of these  
11 plants all over the state. The snowpack helps them out a  
12 lot, but they tend to be fairly high head, very little head  
13 storage effect on the energy generation. The storage mostly  
14 shifts -- allows you to shift water releases from the winter  
15 when the releases are less valuable, to the summer when you  
16 have those seasonal peaks for air-conditioning, that have a  
17 lot more economic value to them. This gives you a sense for  
18 how the elevation matters and the inflows to these  
19 reservoirs, the green plot here is the lower elevation and  
20 then, as you get to higher elevations, you get later  
21 snowmelt. Of course, with climate warming, you will look  
22 forward to seeing some of that accelerated, or we will not  
23 look forward to that being accelerated, as the case may be.  
24 But here are some results from the EBOM model of 137 of  
25 these 156 power plants, using modified hydrologies from 1985



1 to 1998, modified for different climates. So again, you  
2 can see historic generation patterns. Where we have a dry  
3 form of climate warming, you will see that there is  
4 generally a lot less hydropower production during the  
5 summers and spring, but we see it pick back up during July  
6 and August, that is trying to pick up that peak economic  
7 value for energy peaks in the hottest part of the season for  
8 the air conditioning. So what you will see in our modeling  
9 results, and I think the results from Berkeley, as well, is  
10 that we are pretty much able to get the worst of it when the  
11 energy demands are the highest economic value, it is the  
12 rest of the time of year that we see the greatest effects.  
13 With a wet form of climate warming, you will see a lot more  
14 hydropower produced in most of the season, except for maybe  
15 the summer here, and warm only is sort of a balance. In  
16 terms of total productions, just to compare the dry scenario  
17 that we ran, which had 20 percent less flow, it is important  
18 to notice that, when we talk about drier, you could have  
19 maybe 5 percent less precipitation cause maybe 10 or 20  
20 percent less runoff, just because of the nature of  
21 evaporation up in the watersheds. So it is important when  
22 you hear "drier," and if we are talking in precipitation  
23 terms, it is very different than in terms of run-off; a  
24 small change of precipitation can create a much larger  
25 change in run-off. So when we had a 20 percent reduction in

1 run-off, we had about a 20 percent reduction in generation.  
2 When we had a 10 percent increase in run-off, we have a lot  
3 more energy still, so we only had about a 6 percent increase  
4 in generation. You can see the spill changes here -- when  
5 it is drier, we have less spill; wetter, we have a lot more  
6 spill because most of the reservoirs are designed not to  
7 spill in the average year. And in terms of  
8 revenues, you will see a muted effect, so we could lose 20  
9 percent of the run-off, 20 percent of the production, and  
10 only lose 14 percent of the revenues; with 10 percent more  
11 run-off, we only increase generation 6 percent, and we only  
12 increase revenues a little over 1 percent. So those are  
13 important things to bear in mind. And, of course, if it is  
14 warming only with the same amount of run-off, we see it is  
15 definitely inconvenient for us in terms of generation and in  
16 terms of profitability, but it is not horrible like having  
17 it drier, as well. Here, you see some earlier -- shows you  
18 storage, much greater spill, essentially energy loss from  
19 the system. And this is an interesting slide, too. There  
20 is often a group of people that are interesting in expanding  
21 capacity, expanding surface storage and things like that,  
22 and I think this is an interesting curve. For each of our  
23 models, each of our 137 hydropower models that we looked at,  
24 we can look at what is the value of increasing the storage  
25 capacity for those systems. And so what you see here is

1 sort of the ranking of those 137 plants, from the lowest  
2 economic value of expanding storage to the highest for these  
3 four different climate scenarios. And so you will see the  
4 thin solid line here is with the current climate, and then,  
5 as we change it to a warm-only climate, you will see some  
6 greater value many plants -- certainly not all of them, but  
7 in many plants for being able to capture some of that  
8 increased winter run-off for use during the summer when you  
9 have higher energy values. Certainly, if it becomes wetter,  
10 you certainly value storage more because you think there is  
11 more energy out there to capture during the wet season to  
12 pull over to the higher valued times of the year. And when  
13 it is drier, you will see really a decrease for many plants  
14 of the value of storage expansion from what it is today; and  
15 then, for some other plants, you probably are closer to  
16 spilling more than the average year, some greater value for  
17 increasing their capacities. I think that is a pretty  
18 important thing to look at, that it is not going to be  
19 homogeneous across the state.

20           Some overall conclusions. Warming will shift  
21 snowmelt to winter and reduce total runoff to some degree.  
22 Precipitation changes are less certain, I think, in our  
23 estimation. These drier conditions tend to proportionally  
24 reduce generation; wetter conditions produce lesser  
25 increases in generation, predominantly because of increases

1 in spills during the wet season. Warming alone affects  
2 generation mostly by increasing evaporation, evaporation  
3 upstream. And less by seasonal shift of inflows. I think  
4 this is something we have an agreement in all of the studies  
5 at Davis and Berkeley. Seasonal flow shifts -- the more we  
6 increase spills that reduce generation a little bit, they  
7 reduce revenues a little bit more. Energy crises and  
8 reduced availability of hydropower imports from the Pacific  
9 Northwest actually might be the most important hydropower  
10 effects that we see. The in-state system actually has a  
11 fair bit of robustness to it. And storage capacity often  
12 becomes less valuable with drier conditions since reservoirs  
13 fill less frequently. Imagine the value of expanding the  
14 number of garage space you have in your home when you have  
15 sold off one of your cars. This is the kind of thing we  
16 will see if we have a drier climate, that in many cases,  
17 storage will become less valuable than it is today. Thank  
18 you very much -- and to a lot of people that helped us out.

19 MR. FRANCO: Thank you very much. Before we go to  
20 the questions and answers, we will have the presentation by  
21 Professor John Dracup, also looking at the potential impacts  
22 of climate change on high elevation hydropower units. His  
23 group at Berkeley uses a different approach; they use an  
24 engineering economics approach that compliments very nicely  
25 the work done at U.C. Davis.

1           PROFESSOR DRACUP: Thank you, Guido. It is a  
2 wonderful pleasure to be here. And as you can see, my talk  
3 is on the impacts of climate change in high elevation  
4 hydropower. One of the interesting things about the  
5 differences in these high and low elevation systems, as Jay  
6 alluded to, is here we have plotted the useful reservoir  
7 storage across the X axis, and the capacity of elevation  
8 storage. And you can see the ones below 1,000-feet are much  
9 larger, and this is for California. Also, something Jay  
10 alluded to was that the low elevations are more likely to be  
11 multi-purpose systems, that they are going to have water  
12 supply and, besides hydropower, they are going to have  
13 recreation and flood control, etc. However, looking at the  
14 energy production here, and by elevation, you see that the  
15 high elevation stations disproportionately generate more  
16 electricity than the lower elevation stations. So this  
17 makes them very valuable, of course. And also, as someone  
18 else mentioned earlier, because these high elevation  
19 stations can be held in reserve, as you will see later on,  
20 that they can be used in the afternoon peak power time  
21 periods, electricity is very valuable, of course, from noon  
22 to 8:00 p.m., but as the Vice President of Southern  
23 California Edison once told me that, between midnight and  
24 6:00 a.m., you cannot give away electricity. In fact, he  
25 said that at one time the prices even went negative, they

1 would pay you to take it. So, again, we have this reserve  
2 ability of the high elevation hydropower for the peak time  
3 periods, so it is much more valuable.

4           So our study looked at this upper American River  
5 project, which is owned and operated by the Sacramento  
6 Municipal Utility District and then the famous Big Creek  
7 system on the Upper San Joaquin, it is owned and operated by  
8 Southern California Edison. And the Big Creek is a lower  
9 elevation than the one on the American River. And what we  
10 see here on the left is the one on the Upper American River  
11 Project, the one on the right is Big Creek. And we have --  
12 for some reason, the four scenarios are not showing up on  
13 this slide. They are in the print-out. If you look at your  
14 print-out, on the 6<sup>th</sup> slide, you will see that the black line  
15 is the historic and the next line down -- I do not know why  
16 that did not show up -- so the next one down is early in the  
17 century, the next one is the middle, and then the late  
18 century. And what you see here, of course, that many  
19 studies have shown, particularly by Dan Cayan, that the  
20 hydrograph is moving towards January. We move from the  
21 historic in the black here to hydrographic peaks earlier.  
22 And so on the left here, on the American River, you get more  
23 spills earlier in the year, and less water later in the  
24 year. And to me, this is the take-home message in climate  
25 change in California. If you get one thing out of my talk,

1 and other people will verify this, many studies will verify  
2 this, that we are going to get more water earlier in the  
3 spring when we do not need it, and less water during the  
4 heavy irrigation season later in the summer when we do need  
5 it. So we will need some storage, and that is, even as Jay  
6 showed, we may need more storage in the wet times because of  
7 these earlier spills. And this is very important. You see  
8 on the Upper American River here, it is impacted more than  
9 the Big Creek System. I was recently talking to some  
10 researchers at U.C. Santa Cruz, and they were talking about  
11 a strategic groundwater reserve, which I think is a  
12 brilliant idea. It is an old idea, really, they used to  
13 call it Safe Yield, or Sustainable Yield in groundwater.  
14 But just think if we were to turn San Joaquin Valley into a  
15 strategic groundwater reserve for droughts and for the  
16 storage we will need during these climate change scenarios.  
17 Here again, on the left column we have the Upper American  
18 River, on the right, Big Creek; we see here, we are going to  
19 have reduction in releases in the summer, here, the  
20 scenarios came in. Increases of spills in the winter for  
21 the Upper American, reduction in spills in Big Creek. And  
22 the summer storage is mostly unaffected. This is one of the  
23 interesting things about high elevation hydropower. If you  
24 could go over Tioga Pass, for example, in the national park,  
25 the forest service wants Southern California Edison to keep

1 those reservoirs full and they can hold them high elevation  
2 and wait until the high price peaks in August. You remember  
3 the price of electricity varies not only daily, but also  
4 through the year. So in the high air-conditioned season in  
5 August, prices are high and hydropower becomes valuable  
6 because they can save that energy for that time period.

7           So conclusions, hydropower generation drops in  
8 most climate change scenarios. As the climate is drier,  
9 hydrological conditions, especially in decreased and  
10 increased spills, especially the Upper American River. In  
11 fact, these earlier inflows associated with increase in  
12 temperature is more evident in lower elevation systems; and  
13 in most circumstances, these high elevation systems are able  
14 to keep their power capacity close to matching levels during  
15 the late spring and summer months because they really -- the  
16 system does not need that water. Because these tend to be  
17 single-purpose systems, they are energy driven and you can  
18 save the money.

19           I would like to acknowledge these people that  
20 helped, of course, Guido and the California Energy  
21 Commission. One thing I would like to say, just in closing,  
22 since I do have time, is that one thing you do not hear  
23 discussed in the climate change scenarios is innovations,  
24 and I was having lunch the other day with one of my  
25 daughters and her 10-year-old daughter, my granddaughter.



1 And Marcella, the granddaughter, had a little Mac Computer,  
2 white, of course, laptop, we were at lunch and she is taking  
3 pictures of me, she can take pictures of me, and then she  
4 can manipulate them and she said, "Look, Grandpa, look at  
5 this picture," you know, it looked like a funny mirror in  
6 the circus. So I was thinking back to when I was 10-years-  
7 old and I want everyone in this room to think when they were  
8 10-years-old, and where we were, and I will not tell you how  
9 old I am, but we had the radio then -- I actually came to  
10 the West Coast in 1948, and you speak of the innovation,  
11 that we did not have Google or Tweeter (sic) back then. So  
12 this innovation is coming along that we cannot imagine, and  
13 how that is going to change this whole -- the way we look at  
14 climate change, and how it is going to impact us, well, too  
15 much uncertainty, we cannot tell. So thank you very much.

16 MR. FRANCO: Thank you. So now we have time for  
17 questions for both John and Jay.

18 MR. BARTHOLOMY: Hi, Obadiah Bartholomy again.  
19 This is a question for Jay. On your look at the value of  
20 storage for different reservoirs, did you consider the year  
21 to year variability in the water supply? And specifically I  
22 am reminded of a number of presentations that predict  
23 increases in variability in annual available runoff as a  
24 result of climate change, and I am just curious whether your

1 analysis took the typical year, or whether it actually  
2 looked at a good year.

3 PROFESSOR LUND: We looked at a range of 15 years,  
4 so we had some wet years and some dry years in that. Most  
5 of the high elevation system is run as within year storage.  
6 I think SMUD might have some over-year storage. Lake  
7 Almanor has over a year storage. But for the most part, it  
8 is a seasonal storage system, so either you are done or you  
9 do not, you do not carry it across years very much. So,  
10 yes, we did have a range of wet and dry results, and the  
11 average value of storage when you are making a capital  
12 investment, you want the whole range of wet years and dry  
13 years in there, so that is what we have. It is not as wide  
14 of a sample as I would like, about 15 years, and as you are  
15 aware, that is not a very large sample in hydrologic terms.  
16 But that is all we have got.

17 MR. BARTHOLOMY: Okay, and a second question is  
18 related to hydro-relicensing. First, just a comment that  
19 you mentioned that there was a lack of data available on  
20 some storage and flow data, and I think the between your  
21 paper in part capitalized on the fact that SMUD was going  
22 through hydro-relicensing, and that a lot of that data  
23 public, so just to comment, I think for many in the system,  
24 some of that data will be public.

1           PROFESSOR LUND: Actually, you are right. There  
2 is a lot of data, but it would have taken us forever to  
3 gather up all that data and to make it into a model for each  
4 individual system. We wanted a way to get a quick study of  
5 the whole system, rather than be mired forever.

6           MR. BARTHOLOMY: Just a question related to hydro-  
7 relicensing, do either of you have a sense of at what point  
8 these modeling and research reports would start to push  
9 folks that are going through re-licensing processes to  
10 actually use this information in their projections of future  
11 year conditions for operations in their facility?

12          PROFESSOR LUND: We do have a project with data,  
13 precisely that, and we will be coming out with some reports  
14 in the coming months.

15          MR. BARTHOLOMY: Okay, great. Thanks.

16          MR. McLAUGHLIN: Bruce McLaughlin with the  
17 California Municipal Utilities Association. I have a  
18 question, a clarification, or help me understand your graph  
19 on the extending storage on page sixteen. I definitely heard  
20 the message from the second presentation, new storage would  
21 be a good thing and --

22          PROFESSOR DRACUP: Well, it has benefits. As  
23 someone who studies reservoir operations, you would never  
24 forego free storage. If someone is going to build you extra  
25 storage for free, you always take it.

1           MR. McLAUGHLIN: Is it possible to pull up slide  
2 16 so you can help me understand how to read the graph as  
3 dollars per year per what hour.

4           PROFESSOR DRACUP: Right. So we look at storage  
5 in energy terms, so it is in terms of megawatt-hours of  
6 storage capacity, rather than acre/feet. So we have 137  
7 power plants and we just took the value of increasing the  
8 storage capacity related to those plants, and sorted them by  
9 size. So for some of the plants, the lowest values we found  
10 were zero, you know, a plant where it never fills anyway,  
11 you do not have any value to expanding it. Plants over  
12 here, they might fill up every year and you would like to  
13 store more water in them to carry that energy over to the  
14 summertime when the energy crisis is much higher. They  
15 would tend to have higher values. Yeah, these shadow prices  
16 look at multipliers, if you are a geek.

17           MR. McLAUGHLIN: And a second question, you were  
18 talking about higher elevation and lower elevation, and it  
19 sounds like the higher elevation has more value at peak  
20 times. Does this data also go towards larger reservoirs and  
21 smaller reservoirs here in California, you know, that  
22 anything above 30 megawatts is considered a pariah and you  
23 think less than that is possibly renewable, so can some of  
24 this data -- or does it show anything scientific-wise or

1 engineering-wise that a larger reservoir would be as  
2 beneficial in increasing storage?

3 PROFESSOR LUND: Well, I think you have to look at  
4 -- every reservoir is unique, I think, as a person that  
5 studies these things. One of the things that I asked Kaveh  
6 Madani, who produced these numbers, to do with this graph, I  
7 just asked him last night, was to go back in and see if he  
8 could find any geographic pattern to where it tended to be  
9 the higher volumes of storage, and where it tended to be the  
10 lower volumes of storage.

11 PROFESSOR DRACUP: I think people talk about  
12 storage and dams and they, oh, we are blocking the salmon,  
13 but I think the future in California will be the pump  
14 storage system, it is like the Diamond Valley one that is  
15 owned by MWD out by Riverside and LADWP has one between  
16 Cascade and Pyramid Lake, etc. I think there are about nine  
17 of those systems. So they are going to be offline or  
18 offstream, and the sites is the one they are talking about,  
19 that is near here? Sites, yeah. And by the way, looking at  
20 this slide, this is one of the brilliant things about Jay's  
21 study is that those of you who know linear programming, you  
22 have prime and the dual, and so what you are showing here --  
23 it has not to do with the value of the resource, but it is  
24 actually the value you get for doing this, it is called the  
25 shadow price, as you mentioned.

1           PROFESSOR LUND: I want to just follow-up on pump  
2 storage. Thank you, John, for bringing that up. I think in  
3 terms of expanding storage, that is probably the major area  
4 I would look towards, schematically.

5           MR. McLAUGHLIN: Thank you.

6           MR. FRANCO: Do we have more questions from people  
7 from WebEx? Um, maybe I will ask a question. Right now,  
8 while you are studying these systems, these two disconnected  
9 systems, one is low elevation and the other one is high  
10 elevation. Is there a need to connect both as a unified  
11 model or system?

12           PROFESSOR LUND: I think so. Some years ago, PG&E  
13 developed a huge optimization model called Socrates, then  
14 looked at -- I think it looked at both their hydropower  
15 system and their thermal power system. You really want an  
16 energy model, not a water model, for much of this --  
17 integrated energy model. And I think that is the kind of  
18 thing that would be useful to look at. There are various  
19 people out there that do those kinds of things and I think  
20 they might be useful to look at a whole range of policy  
21 issues regarding energy, including climate change.

22           MR. FRANCO: Okay, questions? If you are  
23 participating via WebEx, you have an opportunity now to ask  
24 questions.

1           MR. DALE: Larry Dale, Lawrence Berkeley Lab. On  
2 the question of the need for new storage, and, Jay, you were  
3 just talking about this, but I guess I want to phrase the  
4 question to make a point; it seems to me that the hydropower  
5 studies that we were looking at, Jay's technique is a really  
6 useful way of summarizing the impact of certain kinds of  
7 changes on the value of hydropower caused by climate change,  
8 and the more limited studies that Sebastian and John and I  
9 were working on were focused on particular basins, and tried  
10 to put together a simulation model. And I think we really  
11 only began to get the kinds of differences that might appear  
12 between a broad scale study and a narrow study. And maybe  
13 one of the questions I have is, in your opinion, would the  
14 conclusions about the storage change if climate change would  
15 bring more variability in future rainfall? I do not think  
16 we really looked at that. And also, would the conclusions  
17 change if the peak period pricing for electricity got -- the  
18 duration of peak period pricing, high prices -- was larger  
19 than it currently is? My understanding is that high  
20 elevation -- well, actually hydro in general is often  
21 focused on making releases during the peak power periods  
22 when electricity is most valuable. And might this change if  
23 there is changes in variability like that?

24           PROFESSOR LUND: I tend to think -- and John might  
25 have different thoughts on this -- I tend to think that the

1 effect on the breadth of the seasonal peak is probably the  
2 most important issue. We certainly have -- I think August  
3 is sort of a bigger -- biggest peak now seasonally; if you  
4 had two or three months of August, I think then you would  
5 have a tremendous value of storing water from the wet season  
6 to the dry season in terms of incremental increase in the  
7 value of that resource. And it would depend on how many  
8 hours per month you could do that because sometimes you can  
9 make up that peak with pump storage, but if it is a broader  
10 peak than that, then you would like to actually move water  
11 seasonally. In terms of the intensity of flows, say big  
12 storms vs. small storms, I tend to think that -- my  
13 impression now is that the amount of storage capacity that  
14 currently exists is pretty good for smoothing those over,  
15 from a hydropower perspective; from a flood control  
16 perspective, it may be different, but certainly from a  
17 hydropower perspective.

18 PROFESSOR DRACUP: Yes, and so much is driven by  
19 air conditioning, of course, and if you have that broad  
20 peak. I have a sister -- I grew up in Seattle, which is not  
21 known for using air conditioning -- but my sister lives in a  
22 suburb and just recently put air conditioning in her house,  
23 I was amazed. So obviously we are going to have -- this is  
24 a small sample, I realize. But we are going to have more  
25 air conditioning. Maybe even in San Francisco where I live.



1 MR. FRANCO: Do we have more questions?

2 Additional questions? No, okay. So now we have time for a  
3 break. We will be back here at sharp -- 11:00. Thank you.

4 [Break at 10:47 a.m.]

5 [Back on the record at 11:01 a.m.]

6 MR. FRANCO: The next presentation if by, uh,  
7 Professor Alan Hamlet from University of Washington, and he  
8 is going to let us know how much power we will be able to  
9 import from the Pacific Northwest for -- in the rest of this  
10 century, and hopefully it will be a lot. So, Alan, please  
11 go ahead. Oh, Alan will -- is in Seattle, Washington, so he  
12 is giving his talk remotely via WebEx. Alan?

13 PROFESSOR HAMLET: Alright, thanks, Guido, very  
14 much. Can everybody hear me alright?

15 MR. FRANCO: Yes.

16 PROFESSOR HAMLET Yes, okay, very good. Most of  
17 what I will be presenting today is part of the Washington  
18 State assessment that the Climate Impacts Group did  
19 recently, and the full report is available on the Web, with  
20 a lot of other information, as well. So in 15 minutes, I am  
21 really going to be giving you the Executive Summary and I  
22 hope you will follow-up with details, as needed. So the  
23 Washington State assessment, I looked at the IPCC AR4  
24 scenarios, which I believe Dan showed you for California,  
25 but looking at Washington State. And there were a number of

1 sectors in the study which are shown on this slide, one of  
2 which was energy production. So the energy assessment  
3 really looked at just two main factors, how much water and  
4 energy will be available to the Columbia River Hydro System,  
5 and then also how will the basic powers of demand related to  
6 residential and light commercial energy demand for  
7 electricity change.

8 I first need to tell you a little bit about the  
9 scenarios, not too much as I think you are fairly familiar  
10 with these approaches already, and have seen similar  
11 assessment for California, earlier this morning. So here  
12 are the projections from the AR4 for the Pacific Northwest  
13 Region, which is, of course, the Columbia River Basin is  
14 contained within this region. So in the top panel, we see  
15 changes in temperature for two emission scenarios, in red  
16 going into the future from 2000 to 2100, we see the red is  
17 the A1B scenario, which is a kind of medium scenario, not  
18 the worst case, but fairly aggressive. We see increasing CO<sub>2</sub>  
19 right to the end of the 21<sup>st</sup> century, with some mitigation.  
20 The yellow shows the D1 scenario, which contains  
21 considerable mitigation by mid-century, and by the end of  
22 the 21<sup>st</sup> Century, we are really starting to stabilize the  
23 climate. And the ranges of uncertainty that you see in  
24 these figures represent the 5<sup>th</sup> percentile to the 95<sup>th</sup>  
25 percentile from the model simulations for the 20<sup>th</sup> Century,

1 and then the same bands going forward in time. So, as you  
2 can see, mitigation and what we assume about emissions  
3 scenario plays a really big role in how things play out at  
4 the end of the 21<sup>st</sup> Century, so the difference between the  
5 A1B and B1, for example, is about almost two degrees C  
6 difference in warming. But by mid-century, not really too  
7 much change. So mitigation plays a huge role in how things  
8 will look at the end of the century, but for the next few  
9 decades, the two scenarios are not that different,  
10 suggesting that we have really got to think about adaptation  
11 in those timeframes.

12           You will notice the difference between temperature  
13 and precipitation. For temperature, we have a really high  
14 signal to noise ratio, even for the mid-21<sup>st</sup> Century, we are  
15 well outside the range of our experience in the 20<sup>th</sup> Century,  
16 both for the mean and for most of the variability, as well.  
17 For precipitation in the lower panel, we see a very  
18 different picture, at least on an annual basis not too much  
19 change in the Pacific Northwest, and there is a lot of noise  
20 from inter-annual and inter-decadal variability, which we  
21 expect to continue perhaps differently in the future. So  
22 what we are likely to see is that, in any given future  
23 decade, we may see warmer and wetter, or warmer and drier  
24 conditions, and that these things will play out with much  
25 more certainty about the temperature impacts than the

1 precipitation. Now, that said, the precipitation effect,  
2 we do see wetter winters and drier summers in the Pacific  
3 Northwest, which we will see have some important  
4 implications.

5           So using these scenarios, to move forward, looking  
6 at the Columbia River hydro system, the system flat sort of  
7 flies about 70 percent of the region for electricity, and is  
8 primarily responsible for the relatively low cost of energy  
9 in the Pacific Northwest, and it strongly affects local  
10 energy supplies at the utility level and below, and of  
11 course it is strongly influenced by climate. Just to make  
12 the case that what happens to the Columbia River system  
13 affects the local scale, this is a snapshot of Snohomish  
14 County DUD, and currently they have 88 percent of their  
15 energy source comes from the Bonneville Power  
16 Administration, some of that is not hydro power, but  
17 nonetheless, if we see such substantial reductions in the  
18 Bonneville Power's basic load resources, this utility is  
19 going to be very strongly affected, and that is pretty much  
20 true across the Pacific Northwest.

21           So if we take those temperature and precipitation  
22 changes that I showed you, and I am really only going to  
23 show you the A1B scenario, just in the interest of time, but  
24 we did the same analysis for B1. And so what is shown here  
25 is the hydrograph of the Columbia River at The Dalles,

1 Oregon, which basically integrates the entire basin. The  
2 dark blue line here shows the 20<sup>th</sup> Century or historic  
3 hydrograph, so this is a very strongly snowmelt dominant  
4 basin, not too much flow in the winter time, and then we  
5 have this big peak in the spring. As we move forward to the  
6 2020's, 2040's, and 2080's, we see gradually increasing  
7 stream flow timing shifts, and this is pretty much true  
8 across the west, but in a snowmelt dominant basin, what  
9 happens when you warm it up is we get more flow in the  
10 winter time, earlier peak flows, and less flow than in the  
11 summer time. And we see that pattern getting more and more  
12 pronounced as we go through the warming to the 2080s. So if  
13 we project this forward, then, using another simulation  
14 model to understand the effects on energy production, that  
15 is what is shown here, so this is system-wide energy  
16 production simulated by the CalSim (phonetic) model, using  
17 those stream flow scenarios I just showed you. And so this  
18 simulates the effects of all the dams and the basic elements  
19 of the reservoir operating policies that are currently in  
20 place. So what is happening here, not too surprisingly, as  
21 we see those timing shifts, we see increased energy  
22 production in the winter time and strongly reduced energy  
23 production in the summer time. And you will notice that the  
24 changes are very strongly focused in sort of key air  
25 conditioning months, here in the summer time.

1           Now, all those simulations that I showed you,  
2   they assume that the natural variability is not changing  
3   with global warming, so those are averages looking over a  
4   long period of time, essentially 90 years of record;  
5   however, if we look historically at the changes in  
6   variability for hydropower production across the Western  
7   United States, so what I am showing you here is traces of  
8   system-wide annual hydropower production from 1917 to 2003,  
9   in this case, right at the Pacific Northwest, the blue is  
10   the Sacramento/San Joaquin System, and then from the  
11   Colorado is the green. You will notice there have been  
12   pronounced changes in variability since about the mid-1970s  
13   which show increased variance and increased synchronaeity of  
14   the two systems. So we have not included this and there is  
15   actually no firm evidence to date that these changes in  
16   variability are directly related to global warming. But it  
17   makes the case that, if we have changes in variability, they  
18   may also feed into the impacts in surprising ways. What  
19   this shows is that, when we have a dry year, or a wet year,  
20   in California, we typically also have the same conditions in  
21   the Pacific Northwest, which means that we do not have much  
22   ability, at least in this 30-year period, for buffering the  
23   two systems by playing off the variability in different  
24   regions.

1           So the main conclusions. By the 2020s, the  
2 regional hydropower production in the Pacific Northwest is  
3 projected to increase in winter by about 4 percent, decrease  
4 in summer by about 10 percent, with annual reductions of 1-4  
5 percent. This gets progressively worse with reductions in  
6 summer production, about 15 percent by the 2040s, and by the  
7 2080s, almost a 20 percent reduction. And, as I mentioned,  
8 the largest and most robust changes in hydropower production  
9 are projected to occur through June through September during  
10 the peak air conditioning season in the west.

11           So part 2. We looked also at how did the primary  
12 energy demand for space heating and cooling needs change.  
13 So this is a fundamental driver of residential and light  
14 commercial energy demand in the Pacific Northwest, strongly  
15 influenced by climate, and we looked it affected by heating  
16 and cooling degree days as the primary driver. And, as you  
17 can imagine, it has important implications for individuals,  
18 utilities and also high level planning at the regional and  
19 state level. So as we warm the climate, what happens not  
20 too surprisingly in the heating season is we have decreases  
21 in heating degree days, so this figure shows both historical  
22 and then 2020s, 2040s, and 2080s for the A1B scenario, which  
23 is considerably warmer at the end of the century, and the B1  
24 scenario. So as we move through the 21<sup>st</sup> Century and the  
25 warming is continuing, we are seeing systematic reductions

1 in heating degree days. The flip side, of course, is that  
2 in the summer time, we have increases in cooling degree  
3 days. So, again, historical 2020s, 2040s, and 2080s were  
4 the two scenarios, let's just look at the A1B in the top row  
5 since that is probably the most plausible of these two  
6 scenarios. You can see that, for the historic condition, we  
7 do not have too many cooling degree days in the most  
8 populace areas of the Pacific Northwest, which are  
9 particularly along the I-5 corridor here, but as we move  
10 forward into mid-century and beyond, we start to see  
11 significant amounts of cooling degree days appearing in  
12 these populated regions, and particularly for the 2080s, we  
13 start to see some significant amount of cooling degree days.  
14 And using relationships between cooling degree days and air  
15 conditioning penetration at saturation for a number of U.S.  
16 Cities, this is from a study by Sailor, et al., so looking  
17 at this lower figure, this non-linear relationship between  
18 cooling degree days on the X axis, and the air conditioning  
19 saturation, we can estimate how much we have changing in the  
20 Pacific Northwest. That is shown here, which shows the air  
21 conditioning penetration, again, for historical -- you will  
22 notice we have very low penetration, we have assumed 8  
23 percent as a base level, but moving forward through the 21<sup>st</sup>  
24 century, we see increasing air conditioning penetration,



1 particularly in these high population regions near the I-5  
2 corridor.

3           So if we summarize this by dividing multiplying  
4 population in each of the locations by the number of heating  
5 and cooling degree days, we can get an index for how things  
6 will change. So this shows the average heating energy  
7 demand, which we assume is population X heating degree days.  
8 If we just have changes in the climate alone, that is shown  
9 in the green bars of the figure, so as the heating degree  
10 days go down, individual energy use for heating goes down;  
11 if we just include population alone and keep the historic  
12 heating degree patterns, and we see these white bars, that  
13 would be increased. So the combined is sort of somewhere in  
14 between the two, but it turns out that population wins, and  
15 so we have actually some pretty significant increases due to  
16 population, despite the fact that the heating degree days  
17 are going down. So at the utility level, we are seeing  
18 increasing demand, despite the fact that consumers actually  
19 may see reductions in their bill.

20           For the largest effect, at least in terms of  
21 percent, is to look at the residential energy for cooling.  
22 And what is happening here, so for population alone, we see  
23 these relatively modest increases because most of the  
24 population does not have a lot of air conditioning  
25 penetration currently, or cooling degree days. But as we

1 move forward, there is this simultaneous effect of warming,  
2 population growth, and increased air conditioning  
3 penetration, which produces the red bars. So by the end of  
4 the 21<sup>st</sup> century, we see really dramatic increases in the  
5 amount of residential cooling demand of almost 20 times what  
6 we had seen historically. Now, if you put this in context  
7 to say that this is not a huge number, you know, currently  
8 about one percent of people's energy use at the residential  
9 level is related to air conditioning for Washington State as  
10 a whole. But by the end of the 2080s, we might see this  
11 climb to as much as 10 percent. So it is a significant  
12 effect, but I think it will come on more strongly in the end  
13 of the 21<sup>st</sup> century. For commercial energy production where  
14 we have pretty much 100 percent air conditioning  
15 penetration, then we have less.

16           So just jumping to the conclusions. We also see  
17 likely changes in peak demand in the Pacific Northwest, just  
18 related to the fact that we have increasing air conditioning  
19 penetration. You can see this pretty clearly by comparing  
20 the relationship between maximum temperature and maximum  
21 load during the day in the Pacific Northwest, and in  
22 Northern California. So we expect to see increasing peak  
23 demands going along with the sort of systematic changes in  
24 average, as well. So despite increasing in heating degree  
25 days, we start to see annual heating energy demand to

1 increase with population, and we see radical changes in  
2 residential and commercial cooling energy demand,  
3 particularly towards the end of the 21<sup>st</sup> century.

4           So to finish up, there are a number of important  
5 inter-regional coordination issues. The combination of  
6 losses of summer energy production from the Columbia River  
7 Hydro System, combined with increasing load in the Pacific  
8 Northwest, is very likely to impact the ability to transfer  
9 energy to California and the Southwest in the spring and the  
10 summer. Development of other energy source technology,  
11 particularly if it were solar or wind, could potentially  
12 mitigate these impacts, but for the system method it is now,  
13 it certainly seems to be that, very likely, we will have  
14 less energy to shift south. Interestingly, depending on the  
15 future energy development choices in California, we may see  
16 increased capacity in California that is not needed in the  
17 cool season. And this suggests that there may actually be  
18 some important opportunities to move energy from the  
19 increased capacity in California and the Southwest in the  
20 wintertime. So these are some interesting ideas, I think,  
21 that are starting to emerge, as well. Thank you. And I  
22 will stop there.

23           MR. FRANCO: Thank you, Alan. So now we have time  
24 for questions and comments.

1           MR. McCawley: Joe McCawley with Southern Cal  
2 Edison. And these are probably more just from my increased  
3 understanding. The studies or the scenarios, I am not quite  
4 sure the way you phrased it, was A1B and B1, and the earlier  
5 presentations, I believe, they did A2 and B1. I am  
6 wondering if you can give a reason, and I do not fully  
7 understand -- this is the first time I have seen B1 and A1,  
8 and A2, with these. So I am trying to get a better  
9 understanding, but I believe A2 is more drastic than A1B,  
10 and could you give a reason why you would have done A1B as  
11 opposed to A2, as the others have done?

12           PROFESSOR HAMLET: There were two reasons that we  
13 choose A1B and A2 and A1B are not hugely differently,  
14 particularly in the sort of mid-21<sup>st</sup> Century region. But  
15 there was a larger difference between B1 and A1B in the  
16 middle of the 20<sup>th</sup> Century, so there was some reason to  
17 include them because of mitigation effects potentially  
18 having some influence in the middle of the 21<sup>st</sup> Century.  
19 Secondly, A1B did include some amount of mitigation towards  
20 the end of the 21<sup>st</sup> Century, where A2 sort of minimizes that  
21 in its outcome. So we felt it was important to show how  
22 that would affect it and going forward. A1B is sort of a  
23 medium scenario, too, where as you mentioned, A2 is a little  
24 bit more regressive.

25           MR. McCawley: Okay, thank you.

1           PROFESSOR HAMLET: I hope that is some help.  
2   These are somewhat arbitrary. We chose those two as  
3   presenting a reasonable range.

4           MR. McCAWLEY: I guess part of my thought process  
5   is, when I compare your results to some of the other  
6   results, is it fair to equate your A1B results to the other  
7   A2 results? Or I really should not do?

8           PROFESSOR HAMLET: You know, I think one thing to  
9   say is that these are scenarios rather than forecasts, and I  
10   would not get too hung up on, you know, how do the numbers  
11   differ from each other because, you know, there is great  
12   uncertainty in how the emissions will actually play out. So  
13   I think it is more important to look at the general  
14   conclusions. And I think if you look at the general  
15   conclusions for A2 and A1B, you would not see anything  
16   fundamentally different about those conclusions.

17          MR. McCAWLEY: Okay, thank you.

18          PROFESSOR HAMLET: The numbers notwithstanding.

19          MR. McCAWLEY: Thank you. The other question I  
20   have has to do with -- I think the slide that is your second  
21   to last slide where it makes reference to peak electrical  
22   demands in summer.

23          PROFESSOR HAMLET: Sure.

24          MR. McCAWLEY: I am trying to get an understanding  
25   of, I guess, what -- I understand warmer temperatures = more

1 air conditioning, but will the peak increase because -- and  
2 this is residential, so I also am trying to think, well, is  
3 residential low, but many residential people are at work  
4 during the day, trying to figure out when is the peak of the  
5 day. Are their air conditioners set automatically so they  
6 are going to be turning on and affecting the peak if it is a  
7 day-time peak while they are work? Or is this -- they come  
8 home, they then turn their air conditioning on at home, but  
9 it was not on during the day? I am trying to figure out, I  
10 guess, I do not know what time of day your peak is and if  
11 the residentials have their systems on the thermostat at  
12 home that is going to be turning it on, or will they be  
13 coming home and turning it on when they come home? And it  
14 would be changing the peak?

15           PROFESSOR HAMLET: And I am afraid I do not have  
16 the answer about that, and we really have not approached it  
17 at that level. You know, the key thing I am trying to show  
18 there, let's look at the 30 degree C as sort of a benchmark  
19 here. You can see that, you know, if we increase those, the  
20 temperature in Northern California by, say, 2 degrees C,  
21 which is something likely that we might see in the middle of  
22 the 21<sup>st</sup> Century, right? That the slope of this line is a  
23 lot larger, so we are likely to see a relatively big change  
24 in comparison with the Pacific Northwest, which has it as a  
25 much shallower slope here. So if what we see currently in

1 Northern California is the future of the Pacific Northwest  
2 in terms of the amount of air conditioning penetration and  
3 the amount of -- it sort of changes in social behavior -- we  
4 would expect to see increases in peak demand that are not  
5 reflected in the historic condition. And so it is  
6 interesting that the Pacific Northwest here on the left and  
7 in California, it is sort of the flipside, we see a lot of  
8 heating degree demand response in the Pacific Northwest that  
9 is missing in California. In California, of course, the air  
10 conditioning dominates and we do not see that in the Pacific  
11 Northwest. But we are going to see something shift, I  
12 believe, to something that is closer to Northern California,  
13 we see these increases in cooling degree and air  
14 conditioning penetration. What time of day that occurs? In  
15 the Pacific Northwest, I believe the load is peaking later  
16 in the afternoon, and I am not sure, again, how much of that  
17 in this figure is actually coming from commercial  
18 residential and so forth. It is actually a mix.

19 MR. McCAWLEY: Thank you.

20 MR. FRANCO: Additional questions? Comments?

21 Alan, I have one question. By 2020, California is supposed  
22 to reduce its greenhouse gas emissions to 1990 levels. And  
23 California counts the emissions necessarily with imported  
24 power, its own emissions. I know 2020 is around the corner,  
25 but, still, based on suggestions from your results that

1   there would be some reductions at the amount of hydropower  
2   that we may be importing to California; since that may need  
3   to be replaced by conventional power sources, do you see a  
4   need to take these effects into account when we study the  
5   ways that California could reduce its greenhouse gas  
6   emissions by 2020?

7           PROFESSOR HAMLET:   I am not sure whether the  
8   legislation permits transfers.   You would know more about  
9   that.   But, you know, I think it is important -- one of the  
10   main things that this study is designed to do is really to  
11   show that we need very strongly to show increases, the  
12   effect of increasing temperature and precipitation.   So if  
13   we look at the low projections for the Columbia hydro  
14   system, if we assume historic conditions, we are likely to  
15   grossly over-estimate the supply that we have in the summer  
16   months.   So it may be necessary to increase those --  
17   decrease the amount of energy that we might see coming  
18   across.   And I suspect we may see a very different pattern  
19   for summer energy production from local sources of  
20   hydropower in California.   But nonetheless, I think this is,  
21   yes, important.   So these studies are relative to the 30-  
22   year window surrounding 1985, so by the 2020s, we expect to  
23   see -- we expect to see about a 10 percent reduction in  
24   those key air conditioning months.   So this is a pretty big  
25   effect and it is expected to continue to get worse.   So I



1 think the key message is that, yes, we need to include the  
2 temperature and precipitation changes in our projections of  
3 the ability to transfer energy across the West. And there  
4 are some complicated climate studies to conduct, but I think  
5 these results show that there is clearly going to be a large  
6 effect from the Pacific Northwest at the very least.

7 MR. FRANCO: Thank you, Alan. Additional  
8 questions. Now, we are open for questions for people  
9 participating on the WebEx.

10 MS. KOROSSEC: Alright, any questions from WebEx?  
11 Alright, hearing none, we can go ahead and move on.

12 MR. FRANCO: Thank you, Alan. That was a very  
13 interesting presentation.

14 PROFESSOR HAMLET: Thanks so much for inviting me.  
15 I really appreciate the opportunity to do it over the web,  
16 it saved a lot of travel money and time, both of which are  
17 in short supply.

18 MR. FRANCO: Okay, thank you again. Our next  
19 presentation is by Mark Snyder from U.C. Santa Cruz. He is  
20 going to be talking about some pretty new ideas on how  
21 climate change may impact renewable sources of energy in  
22 California. With that, Mark?

23 MR. SNYDER: Thank you, Guido. Lisa sends her  
24 regards. She is sorry she could not make it today, but I  
25 will fill in well for her. What I wanted to talk about

1 today is just some research directions and ideas on the  
2 effect of climate change on renewables in California,  
3 specifically wind and photovoltaics. Just to give a brief  
4 overview, wind power currently accounts for only about 3.6  
5 percent of California's total energy portfolio. If you look  
6 at solar power, it is even less, it is only .6 and that  
7 includes all sources of solar, including photovoltaics and  
8 other types. There is a distinct goal of reaching 33  
9 percent of our total energy production from renewables by  
10 2020 and, if you consider hydropower to be somewhat of a  
11 fixed limited resource, I would say that, you know, we would  
12 be most interested in expanding wind and solar power to sort  
13 of fill in the gap and to increase the total percentage in  
14 that way. In that sense, California is really ideally  
15 suited for increased solar production. We have large desert  
16 areas to receive large amounts of solar energy, very little  
17 cloudiness, really ideally suited for photovoltaics. We  
18 also have a great potential for wind energy. We have very  
19 strong coastal winds and winds through valleys and the  
20 mountain ranges along the coastal areas, and also into more  
21 of the desert regions, as well, you have great potential for  
22 wind energy in those areas.

23           If we want to talk about wind energy and solar  
24 energy and the impacts of future climate change, we most  
25 likely are going to be looking to use global and regional

1 scale climate models. And we have talked about that a  
2 little bit today with Dan's talk and with what Guido has  
3 said, and these models are basically going to provide us  
4 with the best available information on the future conditions  
5 for wind and solar power. One of the issues with the  
6 horizontal resolution of the GCMs, the Global Climate  
7 Models, is that a typical grid cell size is 100 to 300  
8 kilometers on a side, and this is quite large. And I will  
9 illustrate this again, as Guido had done before, just to  
10 give you a sense for California why we think this is a  
11 problem. And with RCMs regional climate models, we have  
12 horizontal resolutions that are more on the order of 10  
13 kilometers and 30 kilometers, so this is much better for  
14 examining a region such as California. So just to go back  
15 and talk again about global climate models, they essentially  
16 represent the climate of the entire world in grid cell  
17 boxes. The big -- main advantage of these type of models,  
18 that I will go into, is that you basically can use these  
19 models to generate a number of different scenarios that  
20 people have talked about. You have heard about the A1B, the  
21 A2 scenarios, these various IPCC scenarios, and there are a  
22 number of different global climate models available from  
23 different groups. The advantage of these models is that  
24 they are not very computationally expensive to run multiple  
25 iterations, multiple scenarios. The disadvantage is,

1 obviously, the horizontal resolution which is illustrated  
2 here. If we look at the top panel, we see the actual  
3 topography for the Western U.S. centered over California,  
4 and to the bottom corner here, you can see the global  
5 topography represented here, and you focus in particular on  
6 this one grid cell that I am highlighting here, and you can  
7 see the area from the Monterey Bay all the way to Tahoe, as  
8 represented by one grid cell on a global model, and this is  
9 a 280 X 280 kilometer grid cell, approximately. So this is  
10 sort of the standard resolution of the models today. If we  
11 take a look at this panel over here, we see regional climate  
12 model resolution. This is a 30 kilometer X 30 kilometer, so  
13 this is not as fine as you can go, but you can see that  
14 there is a much better representation of the topography of  
15 California and we are getting much closer to the actual --  
16 and I wish I had a 10 kilometer scale to show you, again,  
17 you can see many of the fine details, some of the values  
18 such as the Salinas Valley start to become very apparent.  
19 And these are going to be the most important tools for  
20 looking at the wind and solar power in the future.

21           So again, with the GCM, the advantages are you  
22 have many models, you can produce many future scenarios, so  
23 you can ask a lot of questions about how is the future  
24 climate going to change and how is it going to affect these.  
25 But the big questions that remain are, is the current

1 horizontal resolution adequate for these models for  
2 addressing these questions. And I think the simple answer  
3 is no, but somebody also raised the point, and I do not  
4 remember who, I think it was John, he said that, you know,  
5 these models are constantly evolving and, in the future, we  
6 may be approaching these better resolutions, but at this  
7 time we are not quite there, so we need to employ other  
8 techniques. One thing that Dan had mentioned was  
9 statistical downscaling techniques, and can these be  
10 successfully applied to GCM data, can we take this coarser  
11 scaled data, downscale it using a statistical method to get  
12 answers that are more useful for impacts questions. And I  
13 think the answer is, is you can do it pretty well for  
14 temperature and precipitation, but for winds and solar  
15 radiation questions, it has not really been tried and there  
16 are also issues of the ability to actually do the  
17 statistical downscaling in developing the relationships  
18 between the observed winds and the actual downscaling. And  
19 the same goes for solar radiation.

20           So now, if we talk about the regional climate  
21 models, what are the advantages and the research questions  
22 that exist for these? The higher horizontal resolution, we  
23 believe, is really critical for addressing the topographic  
24 complexity of California. Many of these fine topographic  
25 features, the mountains and valleys that you see in the

1 actual observed topography, become much clearer at the  
2 scales of the regional climate model, and we also have the  
3 issue of the model physics are better suited to fine scale  
4 simulations. Most of these regional climate models are  
5 derived from weather models and have been developed  
6 specifically to look at the much finer scales. And so the  
7 physics of the regional model are different than the GCM.

8           Some of the research questions that we have are  
9 what is an optimum horizontal resolution, and how fine of a  
10 scale do we need to go to with the regional model. We are  
11 looking at 10 kilometers today; do we need to go to a finer  
12 resolution to answer the impacts questions? Or is that a  
13 good enough resolution to, you know, answer those questions?  
14 What is the optimum balance of computation time vs. the  
15 number of simulations? With a global model, you are able to  
16 do many scenarios, many simulations. With the regional  
17 model, you have to be more careful about choosing the  
18 simulations that you do, and there are some research  
19 programs underway that are looking at ways of sort of  
20 developing statistical matrices that tell you what is the  
21 best combination of scenarios and different regional climate  
22 models to see what is sort of the minimum amount of  
23 computation that you need to get a good representation of  
24 the sort of climate variable that you are interested in.  
25 And the bigger question is, also, can we improve the cloud

1 representations and the models that are in RCMs and also in  
2 GCMs.

3           So the biggest one, I think, is further research  
4 needed on cloud models, parameterizations. One of the  
5 critical things that is not very well simulated in these  
6 models is the marine stratocumulus, and you can think of  
7 this as the coastal fog that we see primarily during the  
8 summertime. It is very poorly represented in GCMs and not  
9 well represented in RCMs. Just to illustrate, we have a  
10 panel here that shows the climatological observations, in  
11 this panel here, of cloudiness and a comparison with  
12 cloudiness in the RCM, and this is for low clouds. And the  
13 scale bar is a little hard to see here, but basically, the  
14 areas that are bluer are areas of greater cloudiness  
15 percentage; the areas that are redder are areas of less  
16 cloudiness. For the low clouds, we do not have a very good  
17 match with the observations in this particular case.

18           Again, a satellite picture showing you just an  
19 illustration of marine stratocumulus and its importance  
20 along the coast. When we get conditions where we have  
21 penetration of the marine stratocumulus into the interior of  
22 California, this dramatically affects the winds and also the  
23 temperature of the interior and also the coastal regions,  
24 and you can see here, we have penetration of the clouds into  
25 the Central Valley, down in the Salinas Valley, and also

1 into the Los Angeles San Diego areas, Santa Barbara. So it  
2 is really critical that we look closely at the models that  
3 deal with these types of clouds in the Regional Climate  
4 Models, and look more closely at how these models are  
5 operating.

6           The next general research direction is to  
7 investigate the effects of renewable energy infrastructure  
8 on climate. There has been some recent work that suggests  
9 that wind turbines can have a climate effect down wind of  
10 their location. In many cases in California, placement of  
11 these turbines could provide -- could disrupt the airflow at  
12 the surface level, and generate some kind of climate impact.  
13 This is really new work and not much has been done on this,  
14 but it would be something that would be important to look  
15 at. Looking at photovoltaic cells and what their climate  
16 impact might be, the biggest thing is that when you are  
17 installing these systems, you are replacing lighter services  
18 with darker services. This is going to lead to increased  
19 radiation absorption. If you are planning on installing  
20 large arrays in the desert, you are changing primarily light  
21 colored surface to much darker colored surface. One recent  
22 study, though, suggests that the benefits of photovoltaics  
23 in reducing greenhouse gas impacts on climate far outweigh  
24 the negatives of the increased radiation absorption, and  
25 that is basically to say that the amount of radiation that



1 you are absorbing, the change in the surface properties, is  
2 not enough to sort of warrant not installing solar panels  
3 because the climate forcing impact of the greenhouse gases  
4 is much greater. And it is really critical that, for  
5 California, we look at more specific studies, to examine  
6 specific areas of the state that would be used for these  
7 installations.

8           Just to summarize, the GCMs and RCMs are very  
9 important tools for researching these future impacts of  
10 climate change on wind and solar power. It seems likely  
11 that the state will add much more in terms of its renewable  
12 resources from these sources and, as California adds  
13 renewable energy infrastructure, we really need to take a  
14 close look at any possible unintended effects of climate.  
15 The current research suggests that these impacts may be  
16 small, but it is important, nonetheless, to take a look at  
17 those. And just to acknowledge funding from the Energy  
18 Commission and the help of Guido Franco. Thank you.

19           MR. FRANCO: Thank you, Mark. So the agenda we  
20 have that we will go ahead with the next presentation, and  
21 then we will open the floor for questions and answers. So  
22 the next presentation is by Lara Kueppers from UC Merced, on  
23 Climate Change Bio-energy.

24           PROFESSOR KUEPPERS: Okay, thank you, Guido, for  
25 inviting me to speak a little bit about this topic today.

1 Initially, I just want to also acknowledge Elliott  
2 Campbell, who is here today, who helped pull this  
3 presentation together. Unlike some of the earlier  
4 presentations, I am not going to be talking about the  
5 results of a study, this is a really a scoping out of what  
6 are the issues here, something really that the community, I  
7 think, is only starting to think about. So what I am going  
8 to be presenting is really what we think are the big issues  
9 that need to be attended to as we move forward with our  
10 investments in Bio-Energy.

11           So just an initial overview on what is Bio-Energy.  
12 Simply put, Bio-Energy is solar energy that has been  
13 recently captured by plants and converted into some sort of  
14 usable fuel, whether it is liquid fuel, solid fuel --  
15 pellets, for example -- or gas. The diagram here on the  
16 upper left shows the simple sort of life cycle of bio-energy  
17 resources in that photosynthesis by plants creates the  
18 biomass that has been used in energy production. There are  
19 residues and byproducts that then are returned relatively  
20 quickly to the atmosphere in the form of carbon dioxide, so  
21 it is the short circuiting of the carbon cycle relative to  
22 what we do with fossil fuels. Bio-energy tends to have a  
23 lower energy density than fossil fuels because it has not  
24 been compressed over millions of years. Our sources for  
25 bio-energy are fairly diverse and so what I will spend most

1 of the time talking about is dedicated crops that have been  
2 planted for the purpose of use as a bio-fuel or a bio-energy  
3 source. This might be corn for ethanol, for example, or  
4 other crops such as switch grass, or poplar, or other  
5 perennial plants that would be used in a bio-electricity  
6 generation context. So these can both be annual crops or  
7 perennial crops, where you are just cutting off the top and  
8 leaving the root stock in place. Other sources of bio-  
9 energy include agricultural or forestry waste, for example,  
10 crop residue being converted into ethanol is sort of a  
11 promised future source of bio-fuel, it is not yet  
12 commercially viable. Other waste sources are currently  
13 already being in uses as generating bio-electricity, for  
14 example, thinning from forestry operations or wood products  
15 -- byproducts from processing wood. And then, of course,  
16 municipal waste sources, for example, land filled biogas,  
17 and there is also a lot of development right now in the  
18 Central Valley where I live, in developing dairy sources of  
19 biogas. Bio-energy is a pretty diverse set of resources.  
20 So just some facts and figures regarding bio-energy. About  
21 3.6 percent of California electricity comes from bio-mass,  
22 about 2.3 percent of our transportation fuels are from bio-  
23 mass. Most of this is corn ethanol -- the transportation  
24 fuel is corn ethanol -- which is grown outside of  
25 California, and that is something that is important to keep

1 in mind, is that our current source for these fuels, for  
2 bio-fuels, in particular, is largely outside of California.

3 So the landscape could be changing. There is the  
4 Executive Order, the Governor's Executive Order, calls for  
5 20 percent of bio-fuel to be produced within California by  
6 2010, and 20 percent of renewable electricity to be bio-  
7 massed by 2010. So these are some significant targets and  
8 they ratchet up over time to 2020 and 2040, as well.

9 A recent analysis by my collaborator, Elliott  
10 Campbell, has looked into the question of where these bio-  
11 energy crops might be grown. Obviously, if we try to grow  
12 out bio-energy crops in places where we are currently  
13 growing food, we are going to run into some problems, and I  
14 think there have been a number of nice analyses recently  
15 that have related increases in bio-energy to increases in  
16 food prices, potentially, and at least into the area  
17 available to grow food crops. So this diagram on the lower  
18 left panel here shows actually abandoned agricultural land,  
19 which would be sort of a conservative look at how much land  
20 is available to grow bio-energy crops, where we would say,  
21 you know, we are not going to utilize areas that are  
22 currently used to grow food. And his calculation is that  
23 about 8.9 million acres of such land might exist in  
24 California for use for growing bio-energy crops.

1           So just a short list -- this leads me to sort of  
2 a short list of some of the pros and cons of bio-energy,  
3 this is not exhaustive, but sort of some of the big picture  
4 ideas here. Of course, one pro of bio-energy is that it can  
5 reduce our greenhouse gas emissions, and that the emissions  
6 from these bio-energy sources are quickly recaptured, then,  
7 by plants for the next cycle. Another benefit is it can  
8 make productive use of what is currently marginal cropland  
9 for growing food crops. It can decrease our waste from  
10 urban and agricultural land; we could turn what is currently  
11 waste into energy. And then it also has no intermittency  
12 problems, like we experience with solar and wind, at least  
13 on a timescale of, say, minutes to hours. There is  
14 variability in this resource, probably more like the  
15 variability that occurs with hydropower in terms of it being  
16 seasonally and inter-annually variable.

17           Negative aspects of bio-energy include the left  
18 cycle accounting that is really required to assess what  
19 greenhouse reductions we achieve. There are investments of  
20 energy that go into growing dedicated bio-fuel crops, for  
21 example. And some of the accounting that has come to light  
22 suggest that the benefits may not be so great for some crops  
23 like corn. It competes with other land uses, as I have  
24 already said. And some of these crops are also resource  
25 intensive, so they have additional environmental impacts

1 related to water, fertilizer, pesticide use, and so forth.

2 And then, as I have already alluded to, bio-energy could be  
3 vulnerable to climate variability and climate change in a  
4 manner perhaps similar to hydropower in that there is a  
5 variability in this resource on the order of seasons to  
6 perhaps decades.

7           So this brings us to the key question here, which  
8 is how will climate change affect bio-energy resources.

9 Okay, so the first sort of big area where we would expect to  
10 see an effect of climate change is on the productivity of  
11 bio-fuel, or dedicated bio-energy crops. So to look at this  
12 so far, what people have done is to really use models that  
13 were developed for looking at the impacts of climate change  
14 on food crops, and so I just pulled out a couple of results  
15 from a couple of studies done by other people. In rain-fed  
16 areas, for example, in the Midwest, the studies seem to be  
17 leading in the direction where increases in carbon dioxide  
18 concentrations, which is one sure bet we have here, would  
19 tend to increase the yield of corn in the Midwest. And  
20 increase in rainfall would also tend to increase the yield  
21 of corn, so this is all looking good for bio-energy,  
22 however, if you look at this panel here on the upper left,  
23 which you combine those effects with the effects of  
24 increases in temperature, you tend to get a more  
25 heterogeneous picture where, in some regions, you see

1 increases in yield, for example, in South Dakota and  
2 Nebraska here on the blue colors, and in other areas like in  
3 Iowa, for example, you tend to see a decrease in yield where  
4 the temperature effects of heat stress are overwhelming  
5 impacts, other beneficial impacts, of climate change. In  
6 irrigated areas, for example, in California, where the vast  
7 majority of our agriculture is irrigated, we see the  
8 temperature increases tend to decrease yield. We do not  
9 tend to get the benefits of climate change, for example,  
10 from an increase rainfall in some region, we just see the  
11 negative consequences of increased temperature and heat  
12 stress. And that is shown here, again, for corn by a study  
13 that was done by Lee, et al. recently where they see -- the  
14 effect is not too bad in the early part of this century, but  
15 independent of scenario, these are two different scenarios,  
16 the thinner red line is the B2 scenario, and the thicker  
17 blue line is the A1 scenario, and you can see that the  
18 yields for corn tend to decrease over the course of the  
19 coming century. Again, this was looking more at food supply  
20 issues, less at bio-fuels, but it can be exploited for that.  
21 The picture looks different if you look at switch grass,  
22 which is this panel I have just pulled up here on the top,  
23 where you see increases in yields across the board in the  
24 Midwest when you are looking at a switch grass crop. So  
25 these effects of climate change are likely to be very crop

1 dependent. And I just wanted to relate these crop yield  
2 effects to the energy question by saying that climate  
3 variability in extreme events affect yields, but these  
4 yields, then -- big changes in yields -- then translate into  
5 volatility in supply and price. So there can be storage, of  
6 course, with some of these resources, but it is something  
7 that needs to be taken into account going forward.

8           Okay, another area where climate change can alter  
9 bio-energy resources is in the regions where these crops are  
10 grown. So a suitable climate may shift geographically  
11 where, when we look at the potential impacts of climate  
12 change on natural vegetation, the ecological community is  
13 already thinking about this. And the cropping community,  
14 the agricultural community is also starting to think about  
15 this. So for bio-energy, that is something we need to pay  
16 attention to. Why we would care is because this alters the  
17 fuel transportation distance, and that transport distance  
18 affects the fuel lifecycle. And so if you change where your  
19 crop is coming from, that is going to change your  
20 calculation of whether it is a beneficial crop to invest in.  
21 This picture on the right comes from a study that was done  
22 by Thomson, et al. where they show the core corn growing  
23 areas outlined in the yellow, stippling, one crop model on  
24 the top shows a decrease in the red of suitable climate for  
25 growing this crop, and an increase is shown in the green



1 area, so the top figure shows the results from one climate  
2 model, the bottom shows the results from another climate  
3 model, so there is a great deal of uncertainty into how  
4 these shifts might look going forward, but you do see that  
5 the regions that are suitable for growing this particular  
6 crop are expected to change to some degree. And this is  
7 something I think we are going to want to look into in a  
8 little bit more detail before we commit ourselves to growing  
9 energy crops in any particular region. Also, these kinds of  
10 shifts in the geographic area of different climates will  
11 certainly affect the distribution of marginal cropland  
12 available for growing bio-fuels. So I mentioned before that  
13 a conservative approach would be to use this marginal  
14 cropland for growing bio-energy. What is considered  
15 marginal is certainly partly dependent on what the climate  
16 is like. And then I just wanted to call out that a study  
17 was done in Europe, looking at this question, in particular,  
18 in the shifts for bio-energy crops, in particular, and they  
19 found, in general, a northward shift in areas suitable for  
20 growing bio-energy crops.

21 A big issue here in California, I think, is going  
22 to be the availability of water supply and the demand for  
23 water by these crops going forward. So climate change is  
24 -- we have already heard today climate change has a lot --  
25 well, promises a great deal of trouble with our water system

1 in California. And bio-energy crops in California are not  
2 going to be most sustainable without irrigation, but right  
3 now, California has mostly irrigated cropland. So if we are  
4 looking at growing bio-energy crops in California, we have a  
5 real question here.

6 One study that was done by Howitt, et al. looked  
7 at the potential for available water in several different  
8 agricultural regions in California, going forward, and I  
9 just outlined in this yellow box here, due to both changes  
10 in the climate and also shifts away from the agricultural  
11 sector to the urban areas, which are growing and demanding  
12 more water, they are projecting just a limited set of  
13 scenarios, decreases in the water available, on the order of  
14 20 percent in these different regions. So that is a  
15 significant decrease in the amount of water available for  
16 irrigation. Higher temperatures also tend to increase plant  
17 water use. Water requirements are certainly specific to  
18 different crops, and there was just a study that came out  
19 just this week in proceedings in the National Academy of  
20 Sciences. It was looking at the water footprint of bio-  
21 energy crops, in particular, and showing how different bio-  
22 energy crops have different size water footprints, where  
23 corn might have a smaller water footprint, for example, than  
24 sorghum, which has a very large water footprint, where the  
25 water footprint is basically the amount of water to grow,

1 sort of a one gallon equivalent of a bio-fuel. Water is  
2 also required by refineries and power plants. Currently the  
3 way these bio-fuels are processed, a gallon of bio-fuel  
4 costs us quite a bit more water than a gallon of gasoline.  
5 I would expect that to change as we move forward if bio-  
6 fuels are going to be used in this region. And certainly  
7 these requirements are really swamped by the irrigation  
8 requirements of these crops. So while this is an issue, it  
9 is dwarfed by the irrigation issue.

10 Finally, another way in which climate change may  
11 alter the bio-energy landscape is through the policies that  
12 we develop to mitigate and adapt to climate change. Carbon  
13 sequestration, one strategy that has been incorporated into  
14 a lot of policy discussions requires biomass to remain on-  
15 site, while what we are talking about with bio-energy is to  
16 remove biomass and burn it. There have been some studies in  
17 the Midwest looking at whether native grass systems, for  
18 example, are better for use as bio-fuels, or better for use  
19 as taking carbon dioxide out of the air and putting it  
20 underground into the soils and sequestering carbon that way.  
21 So you do not get the work from the carbon in that model,  
22 but you get a quick drawdown, perhaps a faster drawdown of  
23 atmospheric carbon dioxide. So there are these competing  
24 needs for our ecosystems that need to be considered as we  
25 develop our policies.

1           Crop management adaptations, for example,  
2 erosion prevention may require retaining crop residues on  
3 fields if we are looking at increases in the intensity of  
4 rainfall events, for example, in particular regions that may  
5 lead farmers to retain more residue on their fields to  
6 prevent erosion. Forest thinning for managing wildfires may  
7 lead to more woody biomass available for bio-energy, so this  
8 could go in either way, in either direction in terms of the  
9 availability of these fuels. And then, certainly, any  
10 policies we develop that address carbon accounting for bio-  
11 fuels and/or mandates for bio-fuels is going to affect the  
12 availability of those resources, that sort of goes unsaid.

13           Okay, so just to conclude, bio-energy resources  
14 are quite diverse, some, especially the dedicated crops that  
15 I have mostly been discussing are likely to be vulnerable to  
16 climate change. But there is a great deal of uncertainty at  
17 this point. This has been not well studied at this point  
18 and I do not think really much at all studied in California.  
19 These uncertainties come from the emissions pathways, as we  
20 have already discussed from federal and state policies, they  
21 also come from sort of uncertainties in the regional  
22 precipitation and temperature changes, and then finally they  
23 come from the varying resource sensitivities, for example,  
24 the difference between a corn sensitivity or a switch grass  
25 sensitivity to these kinds of changes.

1           And then, another conclusion, bio-energy  
2 commodities are subject to national and international  
3 pricing and supply, so corn is not currently grown in  
4 California in large amounts, it is grown in the Midwest and  
5 this is a primary resource that we are looking to, we really  
6 need to be paying attention to climate change in the  
7 Midwest, not so much in California. So these remote areas  
8 are potentially relevant to California climate changes and  
9 these more distant areas are very relevant to California.  
10 That said, if we are looking to produce a good deal of our  
11 bio-energy from California resources as some of our current  
12 policies are stipulating, clearly we need to understand how  
13 climate changes in California will affect those resources.

14           Some research needs. There is kind of a long  
15 list. This is just the beginning of it, perhaps. I think a  
16 major question is how will bio-fuel water demand and yields  
17 change with climate change in California and other source  
18 regions. I think the interaction between water and climate  
19 is crucial. Where will water availability limit the  
20 sustainability of bio-energy sources? Changes in land use,  
21 climate, and in mitigation and adaptation policies influence  
22 where bio-energy crops are grown. I was really taken with  
23 that image from the Sanstad (phonetic) Study where they  
24 projected urban areas out to 2100, and you see that most of  
25 the crop areas of the Central Valley were now covered by

1 urban areas. I am not sure where we are going to grow our  
2 bio-energy crops if we have urban areas covering our most  
3 productive cropland. I do not know where we are going to  
4 grow our food, for that matter. So I think land use is  
5 another part of this puzzle. Can bio-energy compliment  
6 other renewable, but intermittent energy sources? Unlike  
7 solar and wind, you could considerably turn a bio-mass base  
8 bio-electricity plant on and off relatively quickly in the  
9 same way you can kick on hydro-electric sources. So it  
10 could be a good way to compliment other renewables. And  
11 then I guess the final big picture question is what would a  
12 resilient bio-energy system look like. I think the title of  
13 my talk is "We need a resilient system: The question is,  
14 what does it look like?" Thank you very much.

15 MR. FRANCO: Thank you very much. So now we are  
16 opening the floor for questions and comments for both Lara  
17 and for Mark. And I can start. This is Guido Franco.  
18 Rebecca Shaw -- she did a study for the PIER Program looking  
19 at how climate change may change vegetation patterns in  
20 California, and in general terms, they sensed that it would  
21 be net primary productivity of vegetation will go down. So  
22 that suggests to me that, at least in general terms, that  
23 the amount of bio-mass that will be available will also go  
24 down. The study -- is this a rough generalization correct?  
25 Can you elaborate a little bit more?

1           PROFESSOR KUEPPERS: Sure. So I guess if we  
2 were to derive our bio-energy resources from our natural  
3 ecosystems, I would say that the conclusion, you know, that  
4 you bring is probably robust. A lot of the discussion  
5 around bio-energy resources, though, is calling for growing  
6 crops dedicated to energy. And with that, we are providing  
7 inputs to those crops, including irrigation water and  
8 potentially fertilizer that may overcome that productivity  
9 constraint. That said, that approach is probably less  
10 sustainable over the long term and puts a good deal of  
11 demand on irrigation water supply. So I think it will  
12 depend quite a bit on what the mix of sources is that we  
13 want to pursue. If we actively pursue waste streams, you  
14 know, we might have a different outcome yet. So, I guess,  
15 yes, if we are deriving our primary sources of bio-energy  
16 from natural ecosystems which are simply living off of what  
17 water is available in the system and with drying growing  
18 seasons, I think that is a real constraint to primary  
19 productivity in California going forward.

20           MS. DOUGHMAN: I am Pam Doughman from the  
21 California Energy Commission. I was wondering if you could  
22 expand on discussion of the Regional Climate Models and some  
23 of the challenges in looking at wind, storms, wind patterns,  
24 and cloud cover, and maybe if you could comment on a  
25 timeline, when we might be able to see sort of advances and

1 be able to use such models to really anticipate possible  
2 changes?

3 MR. SNYDER: Sure. Yeah, as part of the CEC  
4 funded project, we are working to produce, as Guido  
5 mentioned, projections for future climate at a 10 kilometer  
6 resolution, and I would expect that we will have preliminary  
7 results by September, if not more from those projections  
8 with the hope that, in the next year or so, that we will  
9 have complete simulations for future scenarios and we are  
10 sort of optimistic that, you know, the data that we derive  
11 from that is going to be very useful for planning for our  
12 wind energy and also for the solar energy issues for the  
13 future. As far as the cloud modeling goes, that is sort of  
14 an ongoing research topic by a number of different groups  
15 who are working to basically improve cloud models and  
16 integrate those into global and regional cloud models. So  
17 that may be a little bit further down the road in terms of  
18 the availability of better cloud models. It is important to  
19 note that, although the models do have issues with the sort  
20 of low clouds, they do fairly well with upper level clouds,  
21 things that are associated with large scale storm systems.  
22 The models do a good job of those. It is simply the lower  
23 clouds, this marine layer, that is more of a complex issue  
24 and that requires these improvements.

25 MR. FRANCO: Okay, additional questions?



1           PROFESSOR DRACUP: John Dracup, University of  
2 California Berkeley. I wanted to ask Mark, on these two  
3 studies you reference, the wind power climate impacts and  
4 the photovoltaic climate impacts, do you have any references  
5 to these published in the literature?

6           MR. SNYDER: Yeah, I can look those up for you. I  
7 do not have them offhand.

8           PROFESSOR DRACUP: Great. Thank you.

9           MR. FRANCO: Okay, since we do not have anymore  
10 questions from the floor, let's open the questions for  
11 people participating on the WebEx.

12           PROFESSOR HAMLET: I had a question about some  
13 local scale, more fully distributed kinds of impacts,  
14 particularly with regard to sort of solar installations on  
15 people's houses, use of the landscape industry to produce  
16 bio-fuels, those kinds of things. I wonder if the two  
17 presenters could comment on those opportunities and what the  
18 implications are for climate change.

19           MR. SNYDER: I think for solar power, there is  
20 certainly an opportunity for greater installation, and I  
21 know that there has been a push in California for at least  
22 providing economic incentives for people to install solar on  
23 their individual residences and things like that. And I  
24 know a number of businesses have started to look at can we  
25 install enough solar to basically mitigate the energy that

1 we are using. In terms of the climate impact, that is  
2 something that should probably be looked at in terms of if  
3 you are switching -- if you are changing areas from being in  
4 dramatically sort of lighter color to a darker color, you  
5 are going to get more solar absorption, but in the case of  
6 most, I think, roofs, you are talking about roofs that are  
7 relatively dark to begin with, and so I do not know that  
8 there is going to be much of an issue there.

9 PROFESSOR HAMLET: I am particularly interested  
10 in, you know, with the solar air conditioning, I think is  
11 something that seems to be a win win and can be actually  
12 based on hot water technology via ammonia cycles and those  
13 kinds of things. It seems like those have been under-  
14 explored, and I was wondering about that.

15 MR. SNYDER: Yeah, I am not too familiar with  
16 that, but that sounds like it would be more of an  
17 opportunity. I was thinking more along the lines of just  
18 the photovoltaics, so if you have any insight on that, that  
19 would be interesting to hear from you.

20 PROFESSOR HAMLET: Yeah, I think a good place to  
21 look would be Japan, which is installed. You can buy them  
22 right from Japan now just off the market.

23 MR. HALVORSEN: Hello?

24 MR. FRANCO: Yes, go ahead.

25 MR. HALVORSEN: Are the lines still open?

1 MS. KOROSSEC: Yes.

2 MR. HALVORSEN: I am sorry, are the lines open?

3 MR. FRANCO: Yes, go ahead with your question,  
4 please.

5 MR. HALVORSEN: Well, what I am as concerned  
6 about, I saw this morning in this bio-fuel that the dairy  
7 farmers in California were having a hard time getting the  
8 food, and therefore they were taking their cattle early for  
9 slaughter. Has anything been addressed about the feed for  
10 the cattle in the farming community, on the bio-fuels?

11 PROFESSOR KUEPPERS: Well, there is definitely  
12 follow-on effects for sharing crops between fuels and feed,  
13 and I think there have been some certainly news reports and  
14 a limited number of studies looking at that question. It is  
15 not something that I have focused on in detail here. But it  
16 is an issue when you have food crops and fuel crops being  
17 one and the same.

18 MR. HALVORSEN: This was on the news this morning,  
19 a farmer, he was milking 575 head of cattle and he said, "I  
20 just cannot stay in business because the feed has gone up on  
21 us and we are losing money on producing milk." So that is a  
22 question that we should address, I would think, on that use  
23 of bio-fuels.

24 MR. FRANCO: Yes, thank you very much. We will  
25 take that into consideration. Anymore questions?

1 MS. MOSER: Yes, this is Suzanne Moser. I have  
2 a question for Lara, as well. Can you hear me?

3 PROFESSOR KUEPPERS: Yes, go ahead.

4 MS. MOSER: Okay. My question is sort of a  
5 follow-up to what we just heard and that is there seems to  
6 be quite a bit of a debate in the scientific community on  
7 the causal link between growing more bio-fuels and the land  
8 use changes that that produces, or not produces. I am  
9 wondering if you could say a little bit about the sort of  
10 empirical evidence for the link, if we grow more bio-fuels,  
11 we actually replace other type of land uses and what impact  
12 that has on greenhouse gas emissions.

13 PROFESSOR KUEPPERS: I can take a stab at that.  
14 It is not something I have done work on, personally. But I  
15 have probably read some of the same studies that you have.  
16 So, as you mentioned, there is a good deal of debate right  
17 now as to whether there are these competing land uses or  
18 not. In particular, there have been some studies that  
19 suggest that, as you shift -- at least one study that was  
20 fairly high profile that suggests that, if you use more of  
21 our existing cropland to grow bio-energy crops, that  
22 provides incentives for people to convert new land into  
23 agricultural land in places where we might hope not to see  
24 further agricultural land expansion, for example, in the  
25 Amazon in Brazil. There has also been some work looking at

1 the potential to use bio-energy crops to restore land, for  
2 example, using perennial grassland systems as a source of  
3 bio-fuels, where you sort of take degraded cropland out of  
4 production and, in a sense, restore a native ecosystem, but  
5 manage that ecosystem as a bio-energy crop so that you are  
6 using less inputs than a traditional cropping system and you  
7 are deriving bio-energy benefit. I think these issues are  
8 under active discussion right now. A lot of them are sort  
9 of scenario and model-based, and I think the concepts are  
10 sound; I think the evidence is still accumulating as sort of  
11 the net benefit or harm we could cause by going whole hog  
12 into bio-energy, and I think it depends a great deal on what  
13 resources we pursue.

14 MS. MOSER: Okay, thank you.

15 MR. FRANCO: Okay, so do we have anymore  
16 questions. No? Okay --

17 MR. BARTHOLOMY: Obadiah Bartholomy with SMUD.  
18 This is a question for Mark on the solar resource assessment  
19 portion of the Regional Climate Models. I was just curious  
20 whether you guys expect to be looking at the direct solar  
21 component of total solar resource, in particular, because of  
22 the recent focus on large concentrating solar power plants  
23 out in the desert, and I was just curious whether you expect  
24 there will be a way for the Regional Climate Models to peel

1 out the direct component and give us some insight as to  
2 how that may change in the future.

3 MR. SNYDER: Yeah, I think we will be able to do  
4 that. The model represents a number of different radiation  
5 variables and one of those is the direct component. And it  
6 also deals with some of the reflected and sort of scattered  
7 radiation components, as well. So that should be something  
8 we could address.

9 MR. FRANCO: Okay, thank you very much. Before we  
10 close this part of this workshop, I do not know if you  
11 noticed that we started with Dan Canyan and myself, two  
12 senior people, and then we move to the new generation with  
13 Lara and Mark, two Professors of University of California.  
14 And this afternoon at 1:30, we are going to move now to  
15 climate change and energy infrastructure issues. And I  
16 wonder if the speakers are going to get younger and younger.  
17 But, we are closing this part of the workshop. We are going  
18 to reconvene again at 1:30. Thank you very much.

19 [Off the record.]

20 [Back on the record.]

21 MR. FRANCO: Okay, we are going to start. So the  
22 topic of this afternoon's presentation has to do with  
23 climate change and energy infrastructures. So there are  
24 going to be three talks, all of them from researchers  
25 associated with the Lawrence Berkeley National Laboratory.

1 So the presentations are designed to explain methodology  
2 that LBNL has developed to study how vulnerable our energy  
3 system is to climate change. So, Larry?

4 MR. DALE: Thank you, Guido. My name is Larry  
5 Dale. I am a researcher at Lawrence Berkeley Lab. And I am  
6 here to talk about a study that we are just beginning, which  
7 is to investigate the impacts of climate change on  
8 California's energy infrastructure. We have about 20 some  
9 odd slides to cover, and we have no results to report. So  
10 you can relax, this is not going to be a pile of information  
11 you need to absorb. We have two excuses for this situation,  
12 one is that the study is just starting, in fact, the funding  
13 is even now just now arriving to LBL to do this study,  
14 although the way these things work, the funding was here a  
15 long time ago at the University, but we have not seen it  
16 yet. A better excuse, though, is that a large reason for  
17 doing this is not so much to present information as to try  
18 to elicit information. This is a presentation about a  
19 methodology that we are working out to cover the climate  
20 change impacts on a very broad set of different kinds of  
21 infrastructure. The topic itself is very broad, and we are  
22 going to present it in three sessions. I will give an  
23 overview of what we are going to do, and then two other  
24 people in the group, Andre Lucena, who is from Brazil and  
25 working at the Lab, will talk about an application of the

1 methodology that we are considering; and then Pete Larsen,  
2 who has done a lot of work with climate change impacts in  
3 arctic regions, and is an economist, will be talking about  
4 how to summarize these impacts into various indices. Jayant  
5 Aathaye, who is the PI, and the first name on this list, is  
6 traveling, and you may have seen his name in various IPCC  
7 reports, and he is the PI and I am the Co-PI on this study.  
8 So, as I said, this is a fairly broad topic. There are lots  
9 of different kinds of climate impacts that may need to be  
10 considered and there are a lot of different types of energy  
11 infrastructure that may be affected by those climate  
12 impacts. As I say, the study has not yet begun, apart from  
13 the methodology that we are going to consider today. And  
14 the study will result in a White Paper later in the summer  
15 and an ultimate report later in the year. As I said, I will  
16 do the overview, Andre will come next and will present a few  
17 slides describing how the methodology may be applied, and  
18 Pete Larsen will talk about damage metrics.

19           This is the key slide from my talk. You might  
20 consider what is at stake here. Well, we have fairly  
21 complex projections of what the climate may be doing in the  
22 future. Of course, there is lots of uncertainty about this,  
23 but most of the GCMs and RCMs are telling us things about  
24 temperature, changes in precipitation, and with much less  
25 certainly about changes in wind, perhaps, and humidity. So



1 this is the raw data that our group is going to take, and  
2 then we, either using other studies or developing results on  
3 our own, we are going to try to take this data and turn it  
4 into physical impacts of climate change. So we can begin  
5 with types of climate events such as heating, or more wind,  
6 or less rain, this could turn into increased fire risk, for  
7 example, which could in turn affect the energy  
8 infrastructure. So the first thing to think about is, what  
9 are we going to cover, what kinds of climate events should  
10 we be most concerned about? The second big issue is, if you  
11 think about the energy infrastructure, and here we are  
12 mostly concentrating on natural gas and electricity in  
13 California, and if you think about that infrastructure,  
14 where is it most vulnerable to these kinds of climate  
15 events? This is the next topic you have to think about in  
16 order to decide what is going to be covered. The time  
17 period is important because most people are concerned about  
18 the fairly near future. They want to know what is going to  
19 happen in 2020. But if you look at the climate model  
20 results, they do not show much happening until about 2050.  
21 So if you want to see climate impacts emphasized, you need  
22 to look further into the future, but if you want to look at  
23 economic political relevance, you want to look near in the  
24 future. So we are thinking of covering a period between  
25 2020-2050, with some discussion of longer term impacts.

1           The next issue that we have to determine is how  
2 to identify the infrastructure at risk. And we have  
3 happened on a fairly straightforward approach, which is  
4 going to be to determine -- well, first take from the gather  
5 from the Energy Commission, information about the location  
6 of the different kinds of energy infrastructure in the  
7 state. Happily, they have put this into a GIS format, so we  
8 can download this onto maps of the state, which shows where  
9 the transmission lines are, where the distribution lines  
10 are, where the power plants are, and this will be sort of  
11 the raw data for our study. The idea will be to then take  
12 information about climate impacts, overlay it on an  
13 infrastructure in a GIS format, and then determine where  
14 this is a match between different kinds of climate events  
15 and infrastructure at risk.

16           The third issue that we have to talk about is how  
17 do you describe -- determine and describe the damage to the  
18 infrastructure? You could have rising sea levels along the  
19 coast, increasing winds, fires, the foothills, these will  
20 all affect, to one degree or another, different types of  
21 infrastructure located where those events take place. But  
22 what we have decided is that, in order to determine what the  
23 likely damages are, we need to work very closely with  
24 utility experts, people who have had experience in the past  
25 with the kinds of events that we are talking about

1 intersecting with the kind of infrastructure that is at  
2 risk. There is very little study out there about this, but  
3 we do think there is data and we do think there is fairly  
4 good expert opinion, so we are assembling a group of utility  
5 experts to help us with that part of the study.

6           The fourth topic is how do you summarize damages.  
7 And this, at first blush, seems quite simple. Well, you  
8 just take the cost of the damaged infrastructure and you  
9 talk about those. But, in fact, even the simple economics  
10 of summarizing damages across the far flung infrastructure  
11 is not simple, you have to deal with issues of uncertainty  
12 and risk, discounting because these things happen at various  
13 points in time, and the costs are often hard to gather about  
14 what happens to this kind of infrastructure. Finally,  
15 probably the biggest possible cost of these sorts of damages  
16 has this very -- almost impossible to measure economically,  
17 although there are attempts, but the biggest cost in many  
18 instances will be outages, people going without power for  
19 various periods of time, and those costs mount up very fast.  
20 And what they actually are is next to impossible to measure.  
21 But we may be able to come up with estimates of the size of  
22 the outages, and I think that is going to be as informative  
23 as any economic estimates we can come up with for the cost  
24 of outages.

1           A third thing to think about when you are  
2 talking about damages is what are your assumptions? First,  
3 what is the baseline, which is fairly straightforward,  
4 although often hard to apply in practice. But how do you  
5 assume people will adapt to changes in the climate? So you  
6 may assume sea levels will be rising, but what do you assume  
7 about how that is going to impact flooding at various power  
8 plants along the coast? Do you assume people just passively  
9 wait until the first incidence of sea level rise, and then  
10 they start building walls? Or do you assume that they do  
11 not do anything and the plant suffers flood damages? There  
12 is probably going to be a mix of the two, but the costs can  
13 vary a great deal, depending upon what you assume. I will  
14 mention just briefly some of the principal data analysis  
15 gaps that we see. You have already heard about problems  
16 estimating wind; wind could very likely be one of the bigger  
17 economic impacts on the infrastructure, particularly to  
18 distribution lines and transmission lines. But there is  
19 very little information, climate information, about where  
20 high wind events will occur and how much worse they will be  
21 in the future. So that is a big question mark. I have  
22 talked to Dan Canyon about ways that we might try to get a  
23 handle on how wind may increase in intensity in various  
24 places, or decrease in intensity, so we may try to  
25 investigate doing a side study with him about that impact.

1           I will mention assembling this expert panel of  
2 utility people to help give us an idea of what costs are.  
3 We have been contacting some people at the utilities -- SMUD  
4 and Southern California Edison. We have not gotten into  
5 this in a great amount of detail because we have not really  
6 yet known what the boundaries of the study are going to be  
7 until we have worked out the methodology. But that is going  
8 to be obviously a very key part of this study, so we are  
9 hoping to get a lot of support from different people and  
10 different utilities.

11           Finally, not mentioned in the fifth bullet point  
12 here, we may in order to get a sense of the types of impacts  
13 across the state, we may and are hoping to get access to  
14 electricity simulation dispatch and/or dispatch models to  
15 get a sense of those types of impacts. So if you lose a  
16 transmission line, if power plant efficiency drops because  
17 of higher temperatures, what sorts of impacts can you expect  
18 across the state? Models can help us do that better than  
19 simple subjective opinion.

20           And I will end with this slide, which is our sense  
21 of the universe that this study will cover. And, this, you  
22 should probably pay some attention to because it is very  
23 possible to miss something important in an area like this.  
24 Here, we have five rows summarizing the different stages of  
25 how we had planned to conduct this study, and then roughly

1 five columns indicating -- well, starting at the very top,  
2 the raw climate data we will be working with, and then  
3 looking at the second row, types of climate events, we are  
4 anticipating the major ones to be under 2A, inland floods,  
5 which could be -- think of Sacramento under water. Think of  
6 us underwater now. B, coastal inundation. Sea level rise  
7 by a meter or so at the end of the century, a good bit less  
8 than 2050, C, warmer air and water, power plant efficiency  
9 drops when the air used to cool the plants, or the water  
10 used to cool the plants, gets warmer. D, wildfires.  
11 Southern California experienced some massive wildfires  
12 recently. Those may get more common. Infrastructure is at  
13 risk there. And then, E, high winds, tornadoes. And in  
14 terms of the stages of investigation, we just talked about  
15 the types of climate events, we are going to overlay the  
16 location of those events as best we can determine, and on  
17 the location of the infrastructure, be it natural gas  
18 storage tanks, pipelines, thermal power plants, transmission  
19 lines, distribution lines, we will overlay the location of  
20 climate events with this infrastructure to determine where  
21 there is a match, where we think there is most likely to be  
22 infrastructure at risk. And then moving from 3 to 4, we  
23 want to determine the type of damage, and this we will do,  
24 as I said, by talking to people who we think know best, who  
25 have had the most historical experience with this kind of

1 event, this kind of impact. So we have utility people  
2 know whenever there is very high wind events in Southern  
3 California, Santa Ana winds, they can tell us that  
4 distribution lines or transmission lines are falling at  
5 twice the normal frequency. We might reasonably extrapolate  
6 that into the future and then measure a kind of damage from  
7 information that winds will occur more, or in fact less  
8 frequently, and thus you have more or less damage to  
9 transmission lines and distribution lines.

10           Now, assuming we have determined the type of  
11 damage, then there is the issue of how do you summarize what  
12 that means, how costly is it. And here it is a matter of,  
13 as I was saying earlier, economics, replacement costs, costs  
14 assuming some kind of adaptation, not assuming some kind of  
15 adaptation, outage costs, or outage severity, rather,  
16 possibly some modeling that we would use to estimate these  
17 impacts. So this slide is showing what I think of is kind  
18 of the universe of what we are covering, and if you see  
19 something missing important, please let us know. We will  
20 probably be contacting many of you to ask that very  
21 question.

22           And so, to summarize, before I pass it on to  
23 Andre, who will talk -- who used this and come up with one  
24 example of how we might go through this step, we are looking  
25 -- it is all fairly simple -- we have information about the

1 location of various types of climate events that may be  
2 occurring and could damage energy infrastructure in  
3 California. We have information about the location of where  
4 the infrastructure is, so we locate infrastructure at risk  
5 and take that information to utility experts, we ask them,  
6 do they have data, do they have analysis, or do they have an  
7 opinion about what this means in terms of future damages?  
8 And then we try to summarize it using either economic  
9 indices of cost, replacement cost, outage events, or outage  
10 severity, and possibly modeling output. So that is kind of  
11 the overview of how we plan to approach this study. So this  
12 is, this Slide 4, is the universe of what we want to cover,  
13 and now Andre is going to provide an example of how we might  
14 go through one of those steps, giving a little more detail  
15 about how the GIS would work, and what kinds of questions we  
16 might ask.

17 MR. LUCENA: Hi everyone. I just want to  
18 highlight that this is still preliminary methodological  
19 approach that we are trying to -- we have thought about and,  
20 given the scope of impacts that we are going to cover, and  
21 so since it is preliminary and we are still hoping to get  
22 some extra information from the Technical Advisory  
23 Committee, so please see this as something that we are  
24 looking for some feedback from you all, and so that you can  
25 help us to further develop the methodological approach.



1           I am just going to start with -- I am just going  
2 to give you some examples of how we thought that we would  
3 approach some of the impacts that we are going to talk  
4 about. And as for fire examples, wildfires, there is  
5 Professor Westerling's work which we plan to use. He  
6 projected the increased probability of fire, given climactic  
7 changes in the future. So I just highlighted the branches  
8 that I am going to talk about now, within the schematic that  
9 Larry presented earlier, so all the way from the climactic  
10 variables to the type of damage that we are going to talk  
11 about.

12           We know what kind of damages, what kinds of  
13 impacts to expect, we are still going to need some more  
14 information on how to assess them in the best way possible.  
15 So the first stage of our work would be doing GIS crossing  
16 to identify the vulnerable infrastructure in the state.  
17 This is just an example, it is just a visual example. On  
18 the left-hand side is California's major electric  
19 transmission lines, and on the right-hand side is a map  
20 which are both from Professor Westerling's work, showing the  
21 increased probability of wildfire. So once we put them  
22 together, we can identify which of California's transmission  
23 lines would be most vulnerable to wildfires. And I think  
24 this is also an important result in the work because,  
25 besides quantifying and writing out a cost estimate, also

1 analyzing and identifying which specific parts of these  
2 infrastructures are going to be vulnerable to climactic  
3 changes is also an important result.

4           So basically, having the location of wildfires and  
5 the location of transmission and distribution  
6 infrastructure, and crossing them in a GIS program, we will  
7 need to have information which I highlighted in red, on an  
8 estimate of how many lines are destroyed in each fire. I  
9 just was talking now at lunch and I just found out that  
10 there is this kind of information, we just do not have  
11 access to it. And what we plan to do in the future, so that  
12 we can estimate, given the occurrence of wildfires, an  
13 estimate of how many lines are destroyed, and given the  
14 costs, calculate -- make an estimate of how much would that  
15 impact cost in terms of replacement costs and outages. So  
16 one other example, I am just going to go quickly through  
17 this temperature. We know that warmer air and water  
18 temperature might affect, in this case, this particular  
19 branch I am talking about now is about thermal power plants,  
20 gas-fired and nuclear power plants, and we know that the  
21 efficiency of -- the compression efficiency of power plant,  
22 gas-fired and thermal power plant -- decreases with  
23 temperature. Basically what happens is the compression work  
24 of the turbine is higher in warmer air because the warmer  
25 air is more expended and so the compression work requires

1 more energy; in the end, you get less electricity for the  
2 same amount of natural gas that you are burning to produce  
3 that energy. So after we do the GIS crossing with the power  
4 plant's location, the projected temperature variation -- I  
5 emphasize variation because we need to know the Delta, not  
6 the estate, because the power plants might already be  
7 operating out of optimum temperature. So once we do that,  
8 we are going to have to get a variation and we need also to  
9 know how that variation affects the power plant. These are  
10 just some examples I have gathered from the literature, and  
11 of curves that -- this one is about a nuclear power plant  
12 and how the sea water temperature, cooling temperature,  
13 affects the power capacity of the power plant. This one is  
14 the operational efficiency of a gas turbine, how much  
15 decreases with temperature. And these are for wet cooling  
16 and for dry cooling power plant gas fired, the capacity of  
17 the decreases with temperature. So we know there is the  
18 relationship, but what we need to know is what kind of  
19 relationship will be representative for the state of  
20 California, given the set of terms that are being used to  
21 produce energy in the state. So the best people to get  
22 information from, I guess, would be the utilities that run  
23 the power plants because they know the types and the models  
24 of the turbines they use, and we hope to get that  
25 information in the future. And one other thing we would

1 have to think about is how are we going to aggregate those  
2 power plants because there are 300 natural gas power plants  
3 in the states, right? So are there any similarities between  
4 them that we could put them like in groups of 10, or groups  
5 of 20s, or something else? Well, we do not know. But what  
6 we need to know is, to find a representative relationship  
7 between air and water temperature and thermal power plants  
8 conversion efficiency and power capacity. And once we do  
9 that, we are going to arrive to results in terms of loss of  
10 efficiency, which in terms means less electricity that those  
11 power plants can generate in the future, given the increase  
12 in temperature. Also, loss in capacity which mean in the  
13 future you might need to store an extra power plant just to  
14 compensate for the loss of power given to a rise in  
15 temperature. We do not know the magnitude of it yet, but  
16 that could be a consequence in the future. So just moving  
17 on to one last example, which is about sea level, so sea  
18 level would affect, amongst other things, also power plants.  
19 And so at this stage, we had some head start. The Pacific  
20 Institute has already done the GIS crossing, which saves us  
21 some work, but still there is a lot of things that we need  
22 to know in order to assess that in a more deep way. So they  
23 have identified 30 power plants which totals over 10,000  
24 megawatts, which are vulnerable to 100-year coastal flood  
25 with a 1.4 meter sea level rise. Okay, we know that. But

1 we need also to know -- then we are going to have to talk  
2 to utilities that run these power plants and ask them, what  
3 is actually at risk from flooding? Is it the whole power  
4 plant? Or is it just the intake? Or is this the peripheral  
5 structures? And more than that, what are the consequences  
6 and costs to that power plant in case it gets flooded? Will  
7 it reduce the life span of it? Or are there adaptation  
8 measures being taken to prevent those floods? And so, like  
9 I said, we are going to build at some point from scratch,  
10 like from the temperature example, but in some other cases  
11 we are going to build from other people's works specifically  
12 for these examples, Professor Westerling's work on fire, and  
13 the Pacific Institute which has just done a good study on  
14 sea level rise, and we are going to summarize it in terms of  
15 costs and damages to infrastructure in the California energy  
16 sector. And I know -- I am going to pass it on to Peter  
17 now, who is going to talk about how to summarize these costs  
18 and, well, thanks.

19 MR. LARSEN: Thanks, Andre. So I am tasked with  
20 talking about useful metrics to evaluate what we call  
21 "second order climate risks," so what is the level after  
22 sort of that we have received this sort of central climate  
23 driver information, or climate impacts that are more on the  
24 physical side? How can we begin to quantify impacts not  
25 only in terms of energy capacity, the efficiency, but

1 actually in terms of planning, more importantly, costs.  
2 So Andre touched on part 1, which our one metric is  
3 obviously just simply to overlay GIS results from previous  
4 studies, and look at where climate impacts may be greatest,  
5 and then overlaying where infrastructure is already located,  
6 or may be located in the future. Number 2 -- it should say  
7 "number 2," not "number 3" -- another useful metric is  
8 direct risk to energy capacity. If we are talking about an  
9 electricity generation power plant, it would be megawatts,  
10 if we are talking about a natural gas pipeline or  
11 distribution system, maybe the metric is therms. So  
12 whatever the valid measure is, we can take a look at the  
13 direct risks to that type of infrastructure. Another metric  
14 is obviously output, which is just raw megawatts that are  
15 megawatt hours expressed as a component of megawatts times  
16 some sort of measure of time. And that is definitely a  
17 deliverable that we are looking to put out in this project.

18           The next bullet is something that I have studied a  
19 lot in the last few years, which is direct risk to  
20 infrastructure operational and capital costs. And so one  
21 way to think about it is, if you think about a cost  
22 equation, a typical engineering cost equation contains a  
23 fixed component, like a capital cost component, but also a  
24 marginal component, or an operational cost component, and so  
25 if there is a power plant that is at risk to sea level rise,

1 we may in fact have to replace or rebuild that entire  
2 structure, so that is a severe capital cost. There may be  
3 many more instances, though, where there is just simple  
4 additional maintenance that is needed, so that is more on  
5 the sort of marginal or operational side. So, when I talk  
6 about costs, or we talk about costs, think of it as two  
7 components -- a marginal cost and a fixed cost.

8           And finally, another useful metric that we  
9 probably will not get into too deeply in this study, but we  
10 would like to in future work, is looking at indirect risks  
11 to other economic activity. Like Larry mentioned earlier,  
12 if you have an outage and a hospital is down, are there  
13 changes to human mortality, or there are all these issues  
14 that happen when you have essentially black-out.

15           So one example, and this is getting at the capital  
16 cost part of the cost equation, is -- it is a little  
17 difficult to see, but right here, this is an example with  
18 some sea level rise, or a storm surge impacting some piece  
19 of vulnerable infrastructure. One way to think about it is,  
20 the first thing is, regardless of climate change, structures  
21 depreciate, and so this is what is known as the straight  
22 line depreciation method, and essentially, without getting  
23 too much into the math today, we have a value of what a  
24 piece of infrastructure is worth, so a baseline cost of the  
25 infrastructure, so maybe a piece of infrastructure if a

1 million dollars replacement cost, it has an assumed  
2 lifespan, maybe 10 years, and so what we are saying is, from  
3 the economic sense, about \$100,000 per year that structure  
4 depreciates if you are using a straight line method. We can  
5 aggregate up that amount for -- in this example, I have  
6 5,000 pieces of infrastructure -- and we can do it over time  
7 so we are annualizing it. So the first step in evaluating  
8 capital risk is estimating a baseline, the second step is to  
9 look at how a structure's useful lifespan may change due to  
10 climate change, some of these impacts we have talked about.  
11 So if increased wildfire reduces the lifespan by a couple of  
12 years, we can estimate the economic value of that change and  
13 then, step 3, if you simply subtract the adjusted  
14 replacement cost against the baseline, you come up with a  
15 very rough sort of raw infrastructure value at risk with no  
16 adaptation assumed. And then step 4 and 5, beyond that, are  
17 we know that when human beings, or planners are shown  
18 significant risk, both in sort of the subjective sense, but  
19 also in this sort of modeled or financial sense, that they  
20 do not simply take the risk, or take the loss. People will  
21 adapt to change. And so an important component is step 4,  
22 which is how do we model or assume different levels of  
23 adaptation going forward to hedge away all or some of that  
24 risk.



1           And finally, this is perhaps one of the most  
2   important components in estimating capital risk, is  
3   conducting scenario-based modeling. So all of these IPCC  
4   models have all these, you know, families of scenarios, A2,  
5   B1. The economics models, or the engineering models, should  
6   have similar scenarios. And so we can run statistical  
7   programs to vary the inputs and see how the output of our  
8   model changes with those varied inputs. I want to briefly  
9   touch on some of the estimation caveats and some important  
10   considerations just to throw out there as we sort of wade  
11   through the methodology with our project here. And some of  
12   the other speakers today have touched on step 1, and I know  
13   that Andre had just mentioned some of this, as well.  
14   Scaling and aggregation issues -- so we talked about general  
15   circulation model scaling, well, engineering and economics  
16   models also have scaling issues, and so we need to ask  
17   ourselves, given the limited time and budget, do we want to  
18   go structure by structure and estimate risk, or do we want  
19   to aggregate risk to the county level, or to some other  
20   regional metric? And then finally, and Andre was just  
21   getting at this, do we want to just group structures into  
22   different classes? So do we want to evaluate total risk to  
23   natural gas transmission lines? Do we want to evaluate  
24   total risk to thermal power plants? And so, right there,  
25   you have maybe nine or ten different categories of risk.

1 Number 2 is something that I have spent a lot of time on  
2 in recent memory, is looking at how to communicate  
3 uncertainty and discounting future economic risk. So if we  
4 show an economic impact at some point in the future, we have  
5 to discount that back to the present when we are making our  
6 decisions. And the choice of a discount rate, or the  
7 savings rate that we assume going forward in time, that  
8 choice is very very important in the economics. I want to  
9 point out a very very seminal paper that came out just in  
10 this last year, and I think it is actually on to publication  
11 now, by Martin Weitzman at Harvard University. Weitzman  
12 figured out and proved in a paper that what he calls  
13 "structural uncertainty," that is when you couple all of  
14 these models together, you take a climate model, and you  
15 stick an engineering model on top of it, and you stick an  
16 economics model on top of the engineering model, when you  
17 couple the modeling, it is not a linear growth in the error  
18 term, it is a strange fat tail distribution. And so what  
19 Weitzman pointed out is that the structural uncertainty in  
20 the impacts far outweighs the choice of a discount rate.  
21 And that is very important to note, and just tells us that  
22 we really need to think about how to communicate the  
23 statistical uncertainty of economics models. But it is also  
24 important to note that this discount rate choice is still  
25 very important; if you change the discount rate by a single

1 percentage point, you can influence the economics results  
2 by hundreds of millions of dollars, if not billions of  
3 dollars. So a simple percentage change in the economics  
4 assumptions can mean, you know, many many many hundreds of  
5 millions of dollars and, in some cases, billions. Pat  
6 Perez, who wrote a paper here -- wrote a staff paper for the  
7 California Energy Commission just back in January noted some  
8 adaptation assumptions and these are really important to  
9 note, and we need to think about how to potentially put  
10 these into a model. And finally, and Larry touched on this,  
11 too, what is the period of analysis in the early years of a  
12 future analysis, you know, we are seeing probably fair weak  
13 impact signals, but as you go further out in time, impacts  
14 seem to be playing out in exponential matter, and so  
15 thinking about the period of analysis is very important. In  
16 my previous job, I worked -- I led a research team to  
17 estimate risks to Alaska's -- all of Alaska's infrastructure  
18 from climate change, and some of the examples that we came  
19 up with in our research are important to note for  
20 California. The impacts are very different. California  
21 does not sit on 80 percent of frozen ground across the  
22 state, but the way that we model them, we think about the  
23 math behind the modeling is actually quite useful. So in  
24 this example, this is an adaptation assumption model. What  
25 we assume is a building has a 30-year lifespan at some point

1 in time, and over time the life span depreciates linearly.  
2 We are looking at three different scenarios. One scenario  
3 is there is no climate change whatsoever. Another scenario  
4 is that the planners simply take the risk and the structure  
5 is impact -- this dark blue line -- the structure's useful  
6 lifespan is continuously impacted over time. And finally,  
7 we assumed some sort of adaptation scenario. In Alaska, the  
8 way we programmed our model was, when a certain percentage  
9 of the structure's value was impacted, I think we used 20  
10 percent in our first paper, then planners will make a  
11 decision and re-build the structure at an earlier point in  
12 time at a slightly higher cost than they would have. And  
13 what we found out is that, if you actually make a decision,  
14 if you are faced with a significant risk and you make an  
15 adaptation decision early on in time, you more than pay for  
16 that additional cost, that additional adaptation cost. So  
17 this is very important and we can think about how to program  
18 this sort of thing into a model for California's energy  
19 infrastructure.

20 Another useful image from our Alaska study is how  
21 to communicate statistical uncertainty of economics, and in  
22 this example we are going to -- I am showing you two  
23 different forms of uncertainty. We looked at three  
24 different atmosphere ocean general circulation models. We  
25 called them "warm, warmer, and warmest." And the reason is

1 that every climate model for Alaska shows significant  
2 warming, so we had to come up with some creative names.  
3 "Warmer" happens to be the Geophysical Fluid Dynamics  
4 Laboratory NOAA model. And this is all just the A1B  
5 scenario, so this is a middle-of-the-road A1B. This is one  
6 scenario, three climate models. So right here, you are  
7 seeing one form of uncertainty as we are looking at three  
8 different AOGCMs. Another form of uncertainty in this image  
9 is that we have run a Monte Carlo simulation. I should  
10 point out the access here. It says \$0, \$5, \$10, \$15, these  
11 are in billions of additional dollars of Alaska's  
12 infrastructure that is at risk. This is risk above normal  
13 wear and tear, and assuming some level of adaptation. So  
14 this is an amount of money the state is going to have to  
15 figure out how to come up with, assuming the model plays out  
16 like this, or the reality plays out like the modeling. But  
17 the important point to note is that with the Monte Carlo  
18 simulation, what we did is we used the mean or the average  
19 projections of future climate at some point in time, and  
20 then we looked at the last 75 years of annual climate  
21 observations and varied -- we ran that standard deviation  
22 through the model and essentially had a statistical program  
23 show us how the output would change. So, as you can see,  
24 there is likelihood that additional costs could be very  
25 significant. There is also likelihood that some of the

1 costs may be not as high. But the important point to note  
2 is that, when we estimate risks to California's energy  
3 infrastructure, we need to think closely about not only how  
4 to deal with some of the statistical uncertainty, but also  
5 more importantly how do we communicate that to planners so  
6 that they make decisions better?

7           Something that is very important is obviously  
8 information. And Andre and Larry sort of mentioned this --  
9 we are going to talk about some of the needs we need as far  
10 as sort of climate and sort of physical impacts, and talk  
11 about some of our energy infrastructure needs as far as  
12 information. Larry touched on this, this sort of dispatch  
13 or power simulation modeling output, which would be  
14 extremely useful in this analysis, and probably most  
15 importantly is how do we get feedback from the utility  
16 experts because, really, you know, if you are sitting in an  
17 office estimating risks to the infrastructure, you know, and  
18 you produce a paper, it is really not going to mean anything  
19 if the people that know the most about it have not weighed-  
20 in on it. So I am not going to go over every one of these  
21 variables, but on the climate and impact side, obviously we  
22 would love to have, you know, not only ambient air  
23 temperatures, coastal water temperatures, fresh water  
24 temperatures, you get into wildfire risk, and a wind  
25 velocities and local sea level. By the way, local sea level

1 is very different than global sea level, and it is a  
2 difficult task to estimate local sea level, but it looks  
3 like the Pacific Institute has taken a great leap towards  
4 estimating that. And then, importantly, this does not get  
5 talked about a lot, but it is just as important to sea level  
6 as what is the storm surge level. And so we need current  
7 values, historical values, but also projected values -- at a  
8 fairly fine spatial resolution.

9           The energy infrastructure side, we also need a lot  
10 of information. Generally, we need power generator location  
11 type, and some basic engineering information, including what  
12 the assumed cost of the structure was when it was new. We  
13 need transmission line location type and engineering,  
14 distribution line location type and engineering, pipeline  
15 location type and engineering, and you guess it, fuel  
16 storage location type and basic engineering. And when we  
17 talk about basic engineering, we are talking about a lot of  
18 the relationships that Andre talked about as far as how  
19 climate variable impacts the, you know, efficiency of a  
20 plant or a pipeline.

21           So other information needs -- and this is pretty  
22 much the end of our presentation -- it would be great, and  
23 the question we pose for the CEC is, would we be able to get  
24 some power dispatch modeling output if our group and our  
25 expert advisors came up with some plausible scenarios. If

1 we were to come up with a list of scenarios and provide it  
2 to the CEC, the ISO, and get some sort of simulation  
3 modeling output, that could be very useful. And, again,  
4 most importantly, what is the most effective way to take all  
5 this information from utility planners and engineers to  
6 determine the vulnerability of specific types of  
7 infrastructure. And here are a couple of the papers that  
8 are a lot more, obviously, that have thought about this  
9 issue, but with that, I will end our presentation and move  
10 on to questions.

11 MR. FRANCO: Thank you very much. So now we are  
12 opening for questions for the group from LBNL. Go ahead.

13 MR. BIRKINSHAW: Kelly Birkinshaw, Advisor to Jim  
14 Boyd. It looks like you are focused on electricity and  
15 natural gas. The transportation sector may be vulnerable,  
16 as well. I am wondering if you have considered including  
17 fuel supply as being a part of the study, as well?

18 MR. DALE: We have included coastal refinery in  
19 California, but not in the gulf states, so we can -- we will  
20 try to gather what information is readily available about  
21 that, but we feel that a detailed study of, say, the impact  
22 of hurricanes on refinery capacity in Louisiana is outside  
23 the scope of this.

24 MR. BARTHOLOMY: Hi, Obadiah Bartholomy with SMUD.  
25 First, let me just say we look forward to helping you in any



1 way we can with answering these questions, and they are  
2 also ones that we share, so we look forward to the outcome  
3 of this research. I did want to ask -- it sounded like you  
4 were mixing in some cases damages with impacts in this  
5 study, in particular, you are looking at risk of outages in  
6 some cases, but you are also looking at things like  
7 temperature impact on the operations of a given power plant,  
8 and so I am curious to what extent things like drought, as  
9 it relates to availability of hydroelectricity would also be  
10 something that you would be looking at. I think that is  
11 more of an operational side rather than the immediate risk  
12 of an unchanged-related event shutting one of these units  
13 down.

14 MR. DALE: I guess I will take a stab at that.  
15 Well, one of the questions is going to be what baseline we  
16 use, what is the baseline scenario, and how we try to  
17 combine all the different impacts into a single impact,  
18 through that baseline and through that aggregate impact. We  
19 keep mentioning using a large model to try to show those  
20 sorts of impacts, but assuming we had such a model, we could  
21 start with a baseline with no hydropower impact, unless we  
22 need to be importing more electricity, and then some of the  
23 risks associated with some of these other kinds of climate  
24 events -- downed transmission lines -- would be the costs of  
25 the -- the risks might be the same, but the costs could be

1 much higher because we now need to have electricity all  
2 the more. So I guess we are sort of leaning towards dealing  
3 with that, with some kind of an aggregate model and setting  
4 the correct baseline.

5 MR. WARDEN: Hi. My name is Nicholas Warden. I  
6 am from CEERT, or the Center for Energy Efficiency and  
7 Renewable Technology. My question is, have you guys  
8 considered maybe using your results to make recommendations  
9 regarding which types of technology should be implemented in  
10 the future? The example that pops into my head is  
11 underground vs. overhead transmission lines because one of  
12 the main arguments against underground transmission lines  
13 seems to be cost, and it seems like this study could make  
14 recommendations regarding future costs about technologies  
15 that may not be subject to as many climactic events like  
16 underground transmission lines, transmission lines being not  
17 so subject to high winds or maybe wildfires or something  
18 like that.

19 MR. DALE: Yeah, just -- I think we both want to  
20 weigh-in a little bit on that, but one thought is that, in  
21 general, we are going to try to deal with that issue through  
22 how we -- what assumptions we make about adaptation because  
23 the costs, as you say, are different depending upon what the  
24 assumption is about how people adapt. Pete, why don't you  
25 talk about that more?

1           MR. LARSEN: Yeah, no, that is a great question.  
2   You know, the adaptation example I gave for Alaska was  
3   really a capital adaptation of simply just going to rebuild  
4   the structure at potentially a new site that is less  
5   vulnerable. What you are getting at is a great question,  
6   which is there may be operational things we could do  
7   differently, too. So we could potentially put in three, or  
8   four, or five different adaptation scenarios, not only on  
9   the operational side, but also the capital side, and see how  
10  those different packages of adaptation scenarios play out  
11  through the model. So it is a great point. It would be  
12  computationally very difficult and very labor-intensive to  
13  come up with every possible technology and run it through  
14  the model, but if we were to group up technologies and see  
15  how cost savings and things like that play out, we could  
16  roughly proxy what you are talking about for a specific  
17  technology.

18           MR. WARDEN: Okay, thank you.

19           MS. BURTON: Elizabeth Burton, Lawrence Livermore  
20  National Lab. First, it sounds like a superb study and I am  
21  very happy that you are all undertaking this. But it seems  
22  like a huge challenge, particularly in light of the -- you  
23  touched on this a little bit, but I would like you to expand  
24  on it, as well -- the energy infrastructure itself will be  
25  evolving from now to 2050, as much from technology as the

1 previous question got at, as from policy directives. So I  
2 am just wondering how you plan on taking into account the  
3 drivers like the renewables for pulling the standard, the  
4 potential for carbon capture sequestration, can you use all  
5 of these additional things to be in the energy  
6 infrastructure?

7 MR. DALE: It is hard to give a detailed serious  
8 answer to such a hard difficult question. I think we are  
9 going to take a quick stab at trying to estimate what the  
10 world will look like, but we cannot focus on that entirely  
11 because that would use up -- I mean, that forecast alone  
12 could more than use up our budget.

13 MS. BURTON: Yes.

14 MR. DALE: So we are relying heavily on the Energy  
15 Commission's databases for giving us the infrastructure that  
16 we are going to worry about. We can make a couple  
17 adjustments to it for future scenarios, but I am not  
18 promising a whole lot.

19 MS. BURTON: Thanks.

20 MR. BIRKINSHAW: Kelly Birkinshaw again. I was  
21 really quite interested in the conversation about discount  
22 rate and uncertainty. I am wondering how you are going to  
23 be viewing this uncertainty. Is it more qualitative or  
24 quantitatively -- how are you going to portray that  
25 uncertainty in the final --

1           MR. LARSEN: This is always a good question.  
2   You know, again, this is another -- right now, if you look  
3   at sort of the pre-eminent environmental economists in the  
4   world, this is sort of the main issue right now. There are  
5   two different schools debating the whole discounting issue  
6   with climate change on the economic side. How can we deal  
7   with it? Well, we can -- I talked about varying the inputs.  
8   You know, one thing we could do is run a scenario with a  
9   range of discount rates and just see how the numbers play  
10   out. I do not want to get in too much because we have  
11   obviously a limited budget and limited time, but I do  
12   personally believe that it is important to vary the discount  
13   rate and look at different scenarios because it is very  
14   important on the results.

15           MR. FRANCO: Okay, I think that is -- we do not  
16   have more questions from the floor, but now we are open for  
17   questions from people participating via WebEx. So, any  
18   questions from the people participating via WebEx? No?  
19   Okay, so I think this was the last set of presentations for  
20   today. As Larry and the others have said, this work is just  
21   starting, so we will need all the help possible from you and  
22   also from the people participating on natural gas  
23   activities. So with that, I really appreciate all of you  
24   being here today. I think this has been a very informative  
25   workshop. As I said before, we will have two White Papers

1 on this, and also these studies, in the next two months.

2 Thank you very much.

3 (Whereupon, at 2:25 p.m., the workshop was  
4 adjourned.)

5 --o0o--

6

7

8

9

10

11

12

13

14

#### CERTIFICATE OF REPORTER

I, PETER PETTY, a Certified Electronic Reporter,  
do hereby certify that I am a disinterested person herein;  
that I recorded the foregoing California Energy Commission  
Workshop; that it was thereafter transcribed into  
typewriting.

I further certify that I am not of counsel or  
attorney for any of the parties to said meeting, nor in any  
way interested in outcome of said meeting.

IN WITNESS WHEREOF, I have hereunto set my hand  
this 17<sup>th</sup> day of June, 2009.

CALIFORNIA REPORTING, LLC  
52 Longwood Drive, San Rafael, California 94901 (415) 457-4417



Peter Petty CER\*\*D493