

<b>DOCKETED</b>	
<b>Docket Number:</b>	22-IEPR-05
<b>Project Title:</b>	Emerging Topics
<b>TN #:</b>	245175
<b>Document Title:</b>	Transcript - 62122 Am Session - IEPR COMMISSIONER WORKSHOP ON ROLE OF HYDROGEN IN CALIFORNIA'S CLEAN ENERGY FUTURE
<b>Description:</b>	6.21.22 - Transcript - AM Session - IEPR COMMISSIONER WORKSHOP ON ROLE OF HYDROGEN IN CALIFORNIA'S CLEAN ENERGY FUTURE
<b>Filer:</b>	Raquel Kravitz
<b>Organization:</b>	Energy Commission Hearing Office
<b>Submitter Role:</b>	Commission Staff
<b>Submission Date:</b>	8/17/2022 5:27:23 PM
<b>Docketed Date:</b>	8/18/2022

STATE OF CALIFORNIA  
CALIFORNIA ENERGY COMMISSION

In the matter of, )  
 )  
2022 Integrated Energy Policy ) Docket No. 21-IEPR-05  
Report Update )  
(2022 IEPR Update) ) RE: Role of Hydrogen

---

IEPR COMMISSIONER WORKSHOP ON  
ROLE OF HYDROGEN IN CALIFORNIA'S CLEAN ENERGY FUTURE  
SESSION 1

IN PERSON AND REMOTE VIA ZOOM VIRTUAL MEETING

Warren-Alquist State Energy Building  
Rosenfeld Hearing Room (Hearing Room A)  
1516 9<sup>th</sup> Street,  
Sacramento, CA 95814  
(Wheelchair Accessible)

TUESDAY, JUNE 21, 2022

10:00 A.M.

Reported By:  
Peter Petty

## APPEARANCES

CEC

Commissioners Present

Siva Gunda, Vice Chair and Lead Commissioner for 2022

IEPR Update

Patty Monahan, Commissioner

Fritz Foo, Advisor to Commissioner J. Andrew McAllister

CEC Staff

Heather Raitt

Rizaldo Aldas

Jane Berner

Jennifer Campagna

California Independent System Operator (CAISO)Mark Rothleder, Sr. Vice President and Chief Operating  
Officer, California ISOPanelists

Maureen Hand, CARB

Gia Vacin, GO-Biz

Jack Chang, CPUC

Matthew Bravante, Bloomberg NEF

Louis Ting, LADWP

Yuri Freedman, SoCalGas

Public Comment

Tim Saseen

William Hazenberg

Paul Ahern, Sesame Solar

Salim Rahemtulla, PowerTap Hydrogen Fueling Corp

Mikhael "Mik" Skvarla, California Hydrogen Coalition

Donald Taylor, Taylor Energy

Sara Fitzsimon, California Hydrogen Business Council

Maia Leroy

Dominic Lucero, NERD: Boilermakers Local 549

## INDEX

	Page
Introduction	4
Heather Raitt, California Energy Commission, Assistant Executive Director, Policy Development	
Opening Remarks	
Siva Gunda, Vice Chair and Lead Commissioner for 2022 IEPR Update	6
Patty Monahan, Commissioner	10
Fritz Foo, Advisor to Commissioner J. Andrew McAllister	13
Mark Rothleder, Sr. Vice President and Chief Operating Officer, California ISO	15
1. Panel: Updates on State Initiatives	
A. Maureen Hand, CARB	17
B. Gia Vacin, GO-Biz	27
C. Rizaldo Aldas and Jane Berner, CEC	37
D. Jack Chang, CPUC	46
Discussion between commissioners and panelists	51
2. Panel: Forecasts of Hydrogen Opportunities in Economywide Decarbonization	62
Moderator: David Erne	
A. Matthew Bravante, Bloomberg NEF	63
B. Louis Ting, LADWP	70
C. Yuri Freedman, SoCalGas	81
Discussion between commissioners and panelists	90
Questions from attendees to panelists, Jennifer Campagna to moderate	104
Public Comment	111
Off the record	121

## P R O C E E D I N G S

1  
2 June 21, 2022 10:00 A.M.

3 MS. RAITT: So, welcome everyone. Today,  
4 we're doing a hybrid workshop using Zoom, while also  
5 meeting in person. So, for those in the room today, the  
6 videos are the presenters and executives on the dais are  
7 being broadcast over Zoom, and everything displayed over  
8 Zoom is also being shown on screen in the room. And  
9 then in the room, we're using in-pho— in-room  
10 microphones for sound.

11 All of the workshops are recorded, and  
12 recordings will be linked to the CEC's website shortly  
13 after the workshop, and a written transcript will be  
14 available in about a month. To follow along, the  
15 schedule and slide-decks have been docketed and posted  
16 on the Energy Commission's IEPR page. And so, for those  
17 in the room, we have signs with a QR code, and you can  
18 scan it with your smart phone, and it will take you  
19 right to the page with all the workshop materials.

20 Hardcopies of the meeting schedule and other  
21 materials are available also for in-person attendees,  
22 and we have binders with all materials at the entrance  
23 to the hearing room. And, if you'd like your own  
24 hardcopy of the presentations, just please let me or

1 Denise Costa know.

2           Today, we have a full schedule with two panels  
3 of presentations in the morning and two in the  
4 afternoon. Attendees may participate in the workshops in  
5 a variety of ways. There will be opportunities to ask  
6 questions of presenters. We'll reserve a few minutes  
7 after the panel discussion to take a few questions but  
8 may not have time to address all questions submitted.

9           If — for those in the room who have a question  
10 for presenters, please write your question on one of the  
11 white index cards in the entrance to the hearing room,  
12 and then feel free to just hand it to me and I'll give  
13 it to the Q & A moderators.

14           And for those joining through the Zoom online  
15 platform, please just use the Q & A feature that's  
16 available to you to submit questions, and you might also  
17 upload a question that's submitted by someone else, just  
18 click the thumbs up icon to upload, and persons with the  
19 most uploads are moved to the top of the queue.

20           And then alternatively, attendees may make  
21 comments during the public comment period at the end of  
22 the morning or afternoon session. Please note that we  
23 will not be responding to questions during the public  
24 comment period, and comments will be limited to three  
25 minutes or less.

1           If you'd like to make a public comment and you  
2 are in the room, you can fill out a blue card and hand  
3 it to me. And for those on the Zoom platform, just —  
4 you can use the raise hand icon to let us know you'd  
5 like to comment, or press star-nine if you are on the  
6 phone. We also welcome written comments, and those are  
7 due on July 12th.

8           And with that, I'll turn it over to Vice Chair  
9 Gunda. Thank you.

10           VICE CHAIR GUNDA: Thank you, Heather, for  
11 setting the stage there, and I just want to begin by  
12 welcome everybody to this workshop, and also the dais  
13 here that we have. Fritz Foo, for Commissioner  
14 McAllister, we have Commissioner Monahan, as — as well  
15 as Mark Rothleder from CAISO joining us today. So,  
16 welcome, welcome everybody.

17           I want to set the stage a little bit at the  
18 top. As we get into this workshop, and — and I begin to  
19 kind of talk about some key — key points of agreement  
20 between most of you calling in today and — and attending  
21 this workshop and broadly engaged in the climate change  
22 conversation in — in California.

23           I think we want to begin by just acknowledging  
24 climate change is real, and it is here, and we all need

1 to band together to accelerate our collective action to  
2 address it. Second, to address climate change, we need  
3 to make sure we reduce the carbon emissions as quickly  
4 as we can, and there are several pathways that have been  
5 in discussion over the last five years.

6           One key pathway that we have broad consensus  
7 on, is electrification of large segments of the economy.  
8 And — and while doing so, we also need to make sure we  
9 clean the electricity grid as quickly as possible.  
10 While the future will see large amounts of  
11 electrification, there are sectors that are hard to  
12 electrify, and keeping the electric grid reliable and  
13 affordable points to need for some level of clean  
14 molecules.

15           Even this greater interdependency, planning  
16 for gas and electric systems cannot be done in a siloed  
17 fashion anymore, and requires a comprehensive energy  
18 system planning moving forward. We all agree that much  
19 of the climate impacts will affect communities of  
20 concern disproportionately, and historically those  
21 communities did not have access to shape policy.

22           The clean energy transition cannot continue to  
23 come at the expense of our communities. The massive  
24 transition we are in cannot be done by any one entity  
25 and needs deep collaboration and moving forward together

1 requires a lot of trust building in the process and  
2 ensuring that we all have access to clear accurate data.

3           And that's where IEPR comes in, and CEC plays  
4 an important role. CEC has an opportunity to be a  
5 neutral venue for really thinking through ideation of  
6 topics, what the problem statements are, as well as  
7 developing some high-level consensus on where we want to  
8 go in terms of a solution matrix as other sister  
9 agencies really try to implement them.

10           So, moving forward, you know molecular fuels  
11 will have an important role and a big — they've been a  
12 staple for our energy system, and they've provided us  
13 with an incredible amount of reliability. So, it makes  
14 sense that, you know, we need to think through how we  
15 transition away from the fossil molecules and the need  
16 for clean molecules, and how do we have a intentional,  
17 deliberate conversation about the role of clean  
18 molecules.

19           And this is where hydrogen comes in. Hydrogen  
20 is a big opportunity for the state, but also nationally  
21 and globally. We are not the only ones thinking about  
22 this. Our friends in Europe share our recognition of  
23 the climate crisis and need to decarbonize, and on the  
24 top of that, they are facing the very real geo-political  
25 risk associated with relying on fossil fuels.

1           So, Europe is making massive investments in  
2 hydrogen. Japan, another nation that we collaborate  
3 very closely in California, is committed to a  
4 decarbonized future, and one that faces energy  
5 challenges similar to ours, and is massively investing  
6 in a hydrogen economy.

7           And as all — all of us are tracking, the  
8 federal government is also investing in hydrogen,  
9 presenting opportunities to states across the country to  
10 propose the establishment of hydrogen hubs. California  
11 has a major opportunity here, and I look forward to  
12 comments from Commissioner Monahan.

13           This IEPR workshop is meant to be an  
14 opportunity for us to engage in a public process, to  
15 discuss in a public setting the uncertainties and the  
16 opportunities that exist for hydrogen in California. We  
17 won't solve all of it today in this workshop, but my  
18 hope is that we spend time together to identify the key  
19 actions the Energy Commission and the state should take  
20 to ensure the investments we do make in hydrogen yield  
21 the best outcome for the state.

22           There are a lot of questions we could set up.  
23 There's a lot of objectives. But here's a couple  
24 things, I think, clear action items. These could be  
25 ideas for the most impactful R&D projects, demonstration

1 projects, and infrastructure investments, and hopefully  
2 we get some of that today.

3           And, there could also be some, you know,  
4 important recognition of analytical research that is  
5 needed to move forward some of these investments. So,  
6 I'm hoping that we have some clear data today. The  
7 ultimate question is, that we are trying to discuss  
8 here, is what does hydrogen mean for California as we  
9 continue to think through clean, reliable, affordable,  
10 equitable future for all Californians.

11           Before I pass down to the rest of my  
12 colleagues on the dais, I just want to thank Heather —  
13 Heather Raitt and the IEPR team, for always doing a  
14 fabulous job during these workshops. We have a number  
15 of staff that have been working on making this happen.  
16 Jane Berner, Kevin Uy, Rizaldo Aldas, Peter Chen,  
17 Jennifer Campagna, Kelly Garcia, and as always, David  
18 Erne. Thank you so much for all the work that you're  
19 moving here.

20           So, with that, Commissioner Monahan?

21           COMMISSIONER MONAHAN: Thank you, Vice Chair  
22 Gunda, and thanks also to Heather for putting on this  
23 workshop, she always does an amazing job. So, I — I  
24 just wanted to start by talking about how California, I  
25 would argue more than any country in the world, has

1 invested in hydrogen for transportation. Our latest AB  
2 8 report that Jane Berner helped pull together — for the  
3 first time, reached out to other countries to see, well,  
4 what are you doing in this space, how much money are you  
5 putting into infrastructure, and what does that mean for  
6 deployment?

7           And, that outreach found that California has  
8 invested, on a per capita basis in the development of  
9 hydrogen stations, more than any country in the world.  
10 And that shows the measure of support that we, as a  
11 state, have had for hydrogen for many years. And, you  
12 know, we're — the Fuels and Transportation Division is  
13 committed to reaching the 200-station goal that was laid  
14 out in a Governor Brown executive order.

15           Once we reach that goal, we will have the  
16 ability to fund up to 290 thousand fuel cell electric  
17 vehicles. That assumes that the station is up and  
18 running, but, you know, it — the — a number of vehicles  
19 that we should be able to support by the time we have  
20 all those stations opened is far beyond what the  
21 industry is projecting.

22           Industry is projecting 61 thousand fuel cell  
23 EV's at that time, and we should have the capacity to  
24 fuel 290 thousand, if those stations are running. I  
25 gotta say that the station reliability, just like with

1 charger reliability, I think we have work to do to  
2 ensure that the — the — these facilities are actually  
3 up and running.

4 But it is just a measure of how deeply  
5 California has supported this, and why we should be  
6 positioned extremely well to be a hydrogen hub from  
7 federal dollars flowing from the bill that we are all  
8 trying to capitalize on.

9 And, I want to say that, you know, we've —  
10 we've invested in California a lot on transportation,  
11 and now we're exploring other uses of hydrogen. We're  
12 looking in it for industrial decarb, for high  
13 temperature industrial purposes, we're looking at it for  
14 long duration storage potentially. Even LADWP is  
15 looking at it for generation in conventional facilities.

16 So, I think there's no doubt here in the state  
17 that we are really interested in ensuring that these  
18 hard to decarbonize sectors are able to reach our state  
19 goals, and that we utilize hydrogen where it makes  
20 economic and environmental sense to be able to meet  
21 those goals.

22 I just returned, actually, from a trip in  
23 Norway and Denmark. They — Norway in particular, sits  
24 right next to Russia, and I can say, I think Fritz Foo  
25 was on this journey with me. In Denmark, you know,

1 there's interest broadly in hydrogen in the EU from an  
2 energy security perspective. And a real need. So, as  
3 we development strategies here in California, we need to  
4 be mindful about what's happening in the global context  
5 to be able to capitalize on strategies that allow us to  
6 scale at a global level.

7 That will bring down prices, that will make it  
8 easier for all of us to reach our goals. And so, the  
9 more we can think about this as a partnership with other  
10 countries, the more successful we will be.

11 So, I will pass it on to Fritz.

12 MR. FOO: Hi. Good morning, everyone. Thank  
13 you, Vice Chair Gunda, and Commissioner Monahan. I'd  
14 like to begin by apologizing, Commissioner McAllister is  
15 unable to attend today. But I have been leading on  
16 hydrogen in our office, and I hope to be an able  
17 representative as we dive into the issues.

18 A couple of points have already been made.  
19 So, I will just highlight, you know, certainly in  
20 California, we used to describe hydrogen as having a  
21 chicken and egg problem. And, it feels like now we  
22 really just have a chicken problem, where we know the  
23 off-takers in California, whether it be transportation,  
24 potentially hydrogen or industry, and now it's really  
25 about considering how do we get enough clean, renewable

1 hydrogen to really power all these off-takers off the  
2 offramps.

3           And two things that I really wanted to  
4 highlight this morning. You know, the hydrogen has to  
5 eventually sustain itself. It cannot forever be  
6 subsidized. And so, when we think about creating a new  
7 market, a new economy, this is really a chance for us to  
8 provide input at the ground level, and really develop it  
9 to see — and shape it as we think about labor,  
10 environmental concerns.

11           Two things on the economics though. One, is  
12 really thinking about co-location of hydrogen resources,  
13 and where we put them. It matters a lot. As  
14 Commissioner Monahan said, in Europe, they think very  
15 strategically about where they put their hydrogen  
16 resources so that storage and transport and off-use—  
17 users can all benefit from it in a way that makes  
18 economic sense. And that includes now thinking about  
19 electricity rates, about natural gas rates. But also,  
20 in California we think about electrolytic hydrogen.  
21 Where do we plan to get water if we are thinking about  
22 water conservation?

23           And the other point that I wanted to  
24 highlight, in thinking about hydrogen development, is  
25 really the question of carbon content. And, I know

1 everyone loves the colors of hydrogen, it makes it easy  
2 from a public perspective, but I think there really is a  
3 need now to move towards a more analytical framework in  
4 thinking about really what is the carbon content from a  
5 lifecycle view.

6           And when we think about carbon content  
7 labeling, similar to maybe and RPS system, something  
8 that would enable us to identify, as we transition, what  
9 are the potential sources of hydrogen that we can use.  
10 Whether that's hydrogen potential with CCS, or in  
11 Europe, for example, they are moving straight to  
12 electrolytic hydrogen, or want to, in light of the  
13 natural gas crisis in the Ukraine.

14           So, really, just reemphasizing as Commissioner  
15 Monahan and Vice Chair Gunda mentioned, building a  
16 hydrogen ecosystem will definitely require partnership  
17 between utilities, industry, public regulators, and  
18 really the communities themselves. This is an  
19 opportunity much like solar, electric vehicles early on,  
20 to really think about how we grow this potential market.

21           And with that, I will pass it over to Mark  
22 Rothleder. Thank you.

23           MR. ROTHLEDER: Thank you. And, thank you  
24 Vice Chair Gunda for inviting us to this discussion.

25           As a system operator, we really have an

1 interest in, primarily, the reliability of the system.  
2 But, obviously, we're cognizant that reliability,  
3 affordability, and obviously decarbonizing the grid is  
4 an important step and journey in terms of the overall  
5 decarbonizing of the overall economy.

6 I think hydrogen is an interesting topic, and  
7 we look — I look forward to the discussion here today to  
8 understand both the opportunities, the sta— status of  
9 hydrogen, but also, the — kind of looking forward to the  
10 opportunity of both on the supply side, how does  
11 hydrogen play a role as an alternative fuel to fossil  
12 fuels, maybe in replacing it in conventional resources.  
13 But also, as a new demand, and how that demand can be  
14 used to be used as a balancing or flexible demand to  
15 balance the system.

16 So, look forward to the discussion today, and  
17 look forward to seeing how we can use this going  
18 forward. Thank you very much.

19 VICE CHAIR GUNDA: Thank you, Commissioner  
20 Monahan, Fritz, and Mark. Wonderful comments and  
21 setting the stage. And, before I pass it back to  
22 Heather to help us start with the panels, just want to  
23 thank all the panelists for giving your time and  
24 advancing this conversation today. And all of you that  
25 are joining, I see over 200 people, I know we have

1 split, that we have a competition between Verde Exchange  
2 and us here. That's where Commissioner Monahan —  
3 Commissioner McAllister is, both of us are discussion  
4 hydrogen today.

5 So, look forward to the rest of the  
6 discussion, and Heather, I'll pass it back to you.  
7 Thank you so much.

8 MS. RAITT: Alright, thank you, Vice Chair.  
9 So yes, our first panel this morning on — is on updates  
10 on state initiatives on hydrogen. And happy to have  
11 Maureen Hand here to speak from the California Air  
12 Resources Board. So go ahead, Maureen. Thanks.

13 MS. HAND: Good morning. Excuse me. Thank  
14 you for inviting me to share an — an overview of the  
15 Draft 2022 Scoping Plan.

16 I'm sorry, I'm hearing an echo.

17 (Pause)

18 So today, I'm hoping to give you an overview  
19 of the overall plan to achieve carbon neutrality while  
20 highlighting the role of hydrogen. Let's see if the  
21 slides come up here. There we go, okay. The next  
22 slide, please.

23 Scoping plans are actionable plans to lay out  
24 a cost effective and technologically feasible path to  
25 ensure that we meet the statewide greenhouse gas

1 reduction targets. There are a number of requirements,  
2 such as minimizing leakage, facilitating subnational and  
3 national collaboration, and supporting cost effective  
4 and flexible compliance.

5 Next slide.

6 Direction on scoping plan goals and objectives  
7 is informed by statutes and executive orders. After  
8 each scoping plan is adopted, CARB and other state  
9 agencies start the process of reviewing and updating  
10 related programs, or developing new programs to align  
11 with outcomes that are identified in the scoping plan.  
12 Aligning these programs relies on multiple provisions  
13 across CARB and other state agencies to take action  
14 based on their established goals and authority.

15 Next slide, please.

16 As our goals have grown to include carbon  
17 neutrality, we have expanded the scope to include all  
18 sources and all sinks. The circle on the left  
19 represents California's greenhouse gas emissions from  
20 the AB 32 greenhouse gas inventoried sources, which we  
21 continue to ratchet down through air quality and climate  
22 policies.

23 Our natural and working lands can be a  
24 greenhouse gas source or sink, as indicated by the plus  
25 and minus signs. The state's separate Natural and

1 Working Lands Inventory allows us to track the  
2 greenhouse gas emissions and sequestration on natural  
3 and working lands over time. Beyond nature-based  
4 solutions, there are technological carbon dioxide  
5 removal options, such as direct air capture of CO<sub>2</sub>,  
6 coupled with permanent underground storage, that can  
7 remove emissions from the ambient air.

8           So, once we have a sense of the greenhouse gas  
9 emission mitigation from our sources, and the potential  
10 role of our natural and working lands, we can begin to  
11 think about how to compensate for any remaining  
12 emissions in order to reach carbon neutrality.

13           Next slide.

14           We assessed alternative fuels and technologies  
15 to reduce our reliance on fossil fuels, and that results  
16 in the AB 32 GHG inventory scenario of carbon neutrality  
17 by 2045. We also conducted groundbreaking modeling of  
18 our natural and working lands to understand how carbon  
19 stocks change under different management activities.  
20 And we have a scenario that represents those activities.

21           So, most of the presentation today is focused  
22 on emissions from energy use, but you can find much more  
23 detail and information about the natural and working  
24 lands carbon stocks in the draft scoping plan.

25           Next slide.

1           The reference scenario reflects emission  
2 reductions from the AB 32 greenhouse gas inventory  
3 sources that are anticipated based on existing policies,  
4 where it's a business-as-usual scenario. The proposed  
5 scenario achieves emissions reductions 40 percent below  
6 1990 levels earlier than 2030, and it is also on a  
7 trajectory to reduce emissions 80 percent below 1990  
8 levels by 2050.

9           The scoping plans identifies the fuels and  
10 technologies that transition us away from fossil fuels  
11 in every energy end use throughout the economy as  
12 quickly as possible. We can reduce the demand for  
13 gasoline and diesel by deploying zero emissions vehicles  
14 at a rapid rate while also reducing vehicle miles  
15 traveled.

16           The transition to ZEVS reduces our need for  
17 liquid petroleum in California. Today, refineries in  
18 California produce nearly all of the gasoline and diesel  
19 consumed in the state. And as the demand for these  
20 fuels declines, the refining capacity contracts. It's  
21 important that the reduced supply is coordinated with  
22 reduced demand to avoid shortages or creating a need to  
23 import fuels form out of state.

24           Decarbonizing buildings and industrial energy  
25 supply relies primarily on shifting natural gas use to

1 electricity, or to alternative fuels like hydrogen and  
2 biomethane.

3           Hydrogen may be supplied through — to  
4 industrial facilities via dedicated pipelines, and it  
5 can also be blended into the natural gas pipeline to  
6 meet building energy demands. Because electricity  
7 becomes a primary alternative energy source, for  
8 vehicles, buildings, and industrial manufacturing, it's  
9 critical that renewables and other zero emission  
10 technologies are utilized as much as possible.

11           And finally, there are greenhouse gas  
12 emissions that do result — that do not result from  
13 fossil fuel combustion, such as methane emissions from  
14 landfills and dairies, or hydrofluorocarbons that are  
15 used as refrigerants. And we need to reduce these  
16 emissions as much as possible.

17           Next slide.

18           So, here's an example of the transition away  
19 from fossil fuels for the transportation sector. Liquid  
20 petroleum fuels, like gasoline and diesel, are the  
21 primary fossil fuels. Battery electric and hydrogen  
22 fuel-cell vehicles, or ZEVs, are the alternatives to  
23 industrial combustion engine vehicles. Hydrogen fuel  
24 cells could provide power — or could power a range of  
25 vehicles, including aviation, ocean-going vessels,

1 freight and passenger rail, as well as on road cars and  
2 trucks.

3           If all light-duty vehicle sales are ZEV by  
4 2035, then as internal combustion engine vehicles reach  
5 their end of life, they'll be replaced with ZEVS, such  
6 that by 2045, nearly all light duty vehicles on  
7 California roads will be ZEVS. The pace of transition  
8 is slower for medium and heavy-duty vehicles while the  
9 technology develops, but a few internal combustion  
10 vehicles remain in 2045.

11           So, as you can see, electricity and hydrogen  
12 provide increasing shares of transportation fuel demand.  
13 In the scoping plan, hydrogen production grows 60 times  
14 from 2022 levels to meet energy demand in  
15 transportation, building, and industrial sectors.

16           Next slide.

17           Electricity is the primary alternative to  
18 fossil fuels in transportation industry and building  
19 because it can be produced with low greenhouse gas  
20 emissions. And our need for clean electricity grows, as  
21 you can see here.

22           We need to increase wind and solar electricity  
23 generation to reduce greenhouse gas emissions in our  
24 current electricity supply, as well as the increased  
25 demand that enables us to reduce fossil fuel combustion

1 in other sectors. In the scoping plan, we estimate that  
2 annual solar installation rates of seven gigawatts per  
3 year are needed over the next two decades. And this  
4 exceeds the historic installation rate of less than  
5 three gigawatts per year.

6           It's important to note that the estimated  
7 electricity demand shown here does not include energy to  
8 produce hydrogen. If we assume that all of the hydrogen  
9 needed in 2045 is produced from solar PV with  
10 electrolysis, we would need over 40 gigawatts of  
11 additional solar capacity. So, we need to keep options  
12 open for other methods to produce zero carbon hydrogen  
13 at the scale that we need, because it will not be  
14 possible to install this additional renewable energy  
15 instantaneously.

16           Facilitating this growth of clean electricity  
17 generation rapidly, while maintaining system reliability  
18 is essential to achieving our greenhouse gas reduction  
19 targets in a cost-effective manner.

20           Next slide, please.

21           So, even with rapid replacement of vehicles,  
22 appliances, and industrial equipment in the proposed  
23 scenario, in 2045, there are remaining emissions of  
24 about 100 million metric tons carbon dioxide equivalent.  
25 Some of these emissions result from continued reliance

1 on fossil fuels, many of these emissions result from  
2 non-energy uses, such as hydrofluorocarbons, and methane  
3 from landfills or livestock. Many of these non-energy  
4 emissions will persist. So, to achieve carbon  
5 neutrality, carbon dioxide removal will be needed to  
6 compensate for these emissions.

7 Next slide.

8 Excuse me. Carbon capture and storage, or  
9 CCS, has been around for a long time. CCS is located at  
10 a facility, and captures carbon directly associated with  
11 fuel combustion. Carbon dioxide removal, on the other  
12 hand, is a newer concept. This is carbon dioxide  
13 removal from the ambient air. There are two general  
14 types of carbon dioxide removal. Nature based, and  
15 mechanical.

16 The natural and working lands modelling that  
17 is described in the scoping plan is the most  
18 comprehensive scientific asse— effort to include these  
19 lands int the state's carbon strategy. Mechanical CDR  
20 refers to technologies that can be applied to capture  
21 carbon dioxide from the atmosphere. Direct air capture  
22 and bio energy with CCS are the primary options in  
23 development today. So, forest or agricultural waste  
24 that results from natural and working lands management  
25 practices may be gasified to produce hydrogen. And when

1 paired with CCS, this hydrogen production could be net  
2 negative.

3 Next slide.

4 Our modeling shows that lands are projected to  
5 be a net source of emissions through 2045 and indicates  
6 that a probable decrease in carbon stocks — indicates a  
7 probable decrease in carbon stocks into the future. The  
8 modeling also indicates that immediate and aggressive  
9 action can reduce the environmental impacts of climate  
10 change that would occur in the absence of such actions.  
11 But we will need to rely on mechanical CDR to achieve  
12 carbon neutrality by 2045.

13 Next slide.

14 In order to transition every economic sector  
15 away from fossil fuels, a significant investment in  
16 alternative fuels, vehicles, appliances, and associated  
17 infrastructure will be needed. We estimate an  
18 incremental investment of \$27 billion in 2045. And note  
19 that investment in new equipment or stock can be  
20 partially offset by savings when the alternative, like  
21 zero emission vehicles, reduces fuel expenditures and  
22 achieves greater efficiency.

23 Next slide.

24 Employment in California is expected to grow  
25 over the next decades with millions of new jobs. As a

1 result of the substantial investment to reduce  
2 greenhouse gas emissions and achieve carbon neutrality,  
3 this projected growth in the overall workforce will slow  
4 somewhat, about 120 thousand jobs, in 2045 relative to  
5 the reference scenario.

6 We show similar results for the gross state  
7 product in the draft scoping plan. However, the  
8 proposed scenario does provide a solid foundation for  
9 continued economic growth while achieving the transition  
10 away from fossil fuels.

11 Next slide.

12 Fossil fuel combustion is a primary driver of  
13 poor air quality, and reducing reliance on fossil fuels  
14 leads to reductions in emissions such as particulate  
15 matter, nitrogen oxides, and reactive organic gasses.  
16 These air pollutants and others that form in the  
17 atmosphere are linked to health effects such as  
18 increased hospital admissions, emergency room visits,  
19 and premature mortality. The proposed scenario is  
20 estimated to equate to about \$10 million in avoided  
21 incidents of health effects in 2045.

22 Next slide.

23 As I mentioned, the draft scoping plan is  
24 available for review and public comment now. We will  
25 present the proposed scenario to the board later this

1 week. And, over the summer, we will continue workshops  
2 and community engagement, and will present the final  
3 scoping plan to the board for adoption in the fall.

4 Next slide.

5 Thank you, for the opportunity to share the  
6 overview of the scoping plan with you today. I do want  
7 to just suggest that we do have a public — public  
8 comment docket open through the end of this week,  
9 through Friday, June 24<sup>th</sup>, and we do welcome comments on  
10 the scoping plan. So, thank you, Heather.

11 MS. RAITT: Thank you so much, Maureen. So,  
12 our next presenter is Gia Vacin from GO-Biz, and I'm  
13 sorry, Gia, if I just mispronounced your name.

14 MS. VACIN: No problem.

15 MR. RAITT: Go ahead.

16 MS. VACIN: No problem. Good morning,  
17 Commissioners and participants. Today, I am going to  
18 share some background on the federal hydrogen hub  
19 opportunity, and — and some of the coordination efforts  
20 that we've been undertaking to put forth a winning  
21 proposal for California.

22 Next slide, please.

23 So, for those that aren't familiar, I just  
24 wanted to spend a moment on the bigger picture federal  
25 hydrogen opportunity here. So, the bipartisan

1 infrastructure law was signed into law November 15th of  
2 last year, and it included \$9.5 billion for clean  
3 hydrogen. And within this, eight billion is earmarked  
4 for at least four regional clean hydrogen hubs, which  
5 I'll talk about in more detail in the coming slides.

6 The goal is to reduce the cost of clean  
7 hydrogen to two dollars per kilogram by 2026, setting us  
8 on the path to achieve DOE's Hydrogen Shot. And it  
9 requires a national hydrogen strategy and roadmap to be  
10 developed, which is under way.

11 Next, please.

12 So, as I mentioned, the Hydrogen Shot on the  
13 previous slide, just wanted to note that it's a DOE  
14 initiative that was launched in June of last year. And  
15 it aims to reduce the cost of clean hydrogen by 80  
16 percent to one dollar per kilogram in the next decade,  
17 or I guess nine years from now.

18 Next.

19 So, to go in to just a little bit more detail,  
20 I mentioned the eight billion over five years for at  
21 least four regional clean hydrogen hubs. This will be a  
22 competitive application process, and you know, stepping  
23 back, big picture, this is a really exciting opportunity  
24 for — to, you know, to leverage and expand California's  
25 push to carbon neutrality, and to accelerate the

1 hydrogen market in helping achieve our state's goals.

2           In California, we will focus on hydrogen  
3 produced from renewables. Probably no big surprise to —  
4 to this group, and our — and our end uses will be  
5 focused on electric power, industrial uses, and  
6 transportation, kind of as the initial areas. The — the  
7 bipartisan infrastructure law also outlines a focus on  
8 environment and economic benefits for underrepresented  
9 communities, and high job quality creation. So, very  
10 much in line with California's focus there as well.

11           Next.

12           And, California is positioned well to win a  
13 hub. In June of 2021, DOE released a request for  
14 information around its Hydrogen Shot goal, and this  
15 graphic was produced by DOE from the result, and it  
16 shows the regional clusters and geographic factors  
17 around the country. And it's significant that  
18 California is the only state that's called out  
19 separately. California is where the early market is,  
20 and as Commissioner Monahan mentioned, you know, we've  
21 been investing in hydrogen for a long time. And — and  
22 have really demonstrated leadership in that area.

23           I want to remind us that we do need national  
24 market. We need the national market to succeed, and

1    though in many ways the — the national market needs  
2    California to — to succeed. So, there are many eyes on  
3    us, and I think some high expectations.

4                We have a lot of advantages. Excuse me. Our  
5    stakeholder community is broad and engaged and very  
6    experienced. We have a robust policy environment, and  
7    we have the biggest early market potential.

8                Next.

9                So, we have some target outcomes from this  
10   hubs investment. With regard to time, this federal  
11   money will accelerate our transition to zero carbon  
12   transportation and — and energy systems. With regard to  
13   money, it's a — we're aiming to have a financially self-  
14   sustaining and expanding low carbon hydrogen market here  
15   in California. And we hear from industry that  
16   California is really the only place that this is truly  
17   possible when you think about renewable hydrogen.

18               And finally, an innovation outcome that this —  
19   that our hub here in the state will continue to foster  
20   innovation and accelerate global adoption of renewable  
21   hydrogen. And something that isn't on this slide, but  
22   definitely worth mentioning, is that an — an essential  
23   underpinning of these outcomes is also equity, community  
24   needs and interests, and workforce considerations.

1           Next.

2           So, as we heard from Maureen, in May, CARB  
3 released its draft scoping plan update, and hydrogen is  
4 all over the doc— all over the document, particularly in  
5 the hard to decarbonize sectors. So, we pulled some of  
6 those pieces into this table here, and you can read  
7 through it, I won't go through it here. But, if you  
8 recall, those darker blue headers are the same use  
9 categories that we highlighted in the Hub's overview of  
10 some of the different end uses that — that the  
11 Department of Energy is expecting, and where we will  
12 focus California's ener— attention and energy, no pun  
13 intended.

14           And then, of course there's a cross—  
15 crosscutting all of these is hydrogen as energy storage.  
16 And so, utilizing excess renewable energy, and thinking  
17 about long duration storage opportunities. So, a lot of  
18 our thinking about how we'll put together an application  
19 will map back to some of these elements in the scoping  
20 plan that we see here.

21           Next, please.

22           So, we've developed five key principles for  
23 the hubs. I'll just read through them quickly.  
24 Prioritizing renewable hydrogen, or green hydrogen. I  
25 think in the LA region that's definitely electrolytic,

1 in, you know, I think going to Fritz's comments thinking  
2 about how we're thinking about this going forward would  
3 be important, and how we're defining these different  
4 things and definitions.

5           Two, investing in — in the energy system and  
6 taking a multi-sectoral approach. Three, public policy  
7 enabling these early markets and — and utilizing private  
8 capital to really scale them and get them to a self-  
9 sustaining market. Prioritizing the hardest to abate  
10 sectors with the biggest emissions profiles while  
11 focusing on creating economically sustainable markets  
12 will be key. And a focus on communities with the  
13 largest pollution burden.

14           Next, please.

15           With regard to our application principles, we  
16 have a — a few here. So, it will be one application  
17 that's mapped back to our stat's goals and principles,  
18 as I've outlined in previous slides, with local input  
19 and support and, you know, it's really these — this  
20 hub's opportunity is really about implementation. And  
21 so, obviously the efforts on the ground and the local  
22 connection is going to be — is going to be key to all of  
23 this.

24           And, we did — earlier this month, the

1 Department of Energy released an — a Notice of Intent,  
2 and they did actually clarify that there is expectation  
3 that it will be a single applicant coming from — you  
4 know, they don't want five applications from California.  
5 So, that underscored what we were thinking already.

6           Now, the federal money — this says might not,  
7 it will not feed every project. But the resulting  
8 system should. And so, we want success to bring  
9 success. We're going to invest deeply in some — in some  
10 key projects that can help show what we can do here, and  
11 what these investments can achieve, and then helping  
12 that to kind of create an environment that — that can  
13 breed more success, rather than spreading it kind of  
14 across the state.

15           And, California's strongest lead story, ports  
16 and goods movement, is probably where we— we'll have a  
17 good — a strong focus in our application. This is very  
18 hard to abate. It's multi-sectoral. There's — there  
19 are big emissions profiles, there's huge pollution  
20 burdens, and it's unique to California in many ways, and  
21 of course complimented by a strong power sector story.  
22 So, leveraging renewables to increased renewable  
23 penetration in the grid, and you know, using multiple  
24 sources of hydrogen to achieve all of this.

1           Next, please.

2           So, the GO-Biz team is leading the state's  
3 coordination efforts with many stakeholder groups, and  
4 in close collaboration with agencies and the governor's  
5 office. So, a little bit about where we are now.

6           Next please.

7           Last month, we published a press release  
8 announcing that California will compete for a federal  
9 hub, and our aim would be to establish environmentally  
10 and economically sustainable and expanding renewable  
11 hydrogen hub and market. And it included quotes from  
12 agency leadership and GO-Biz, CARB, CEC, CPUC, and  
13 CalSTEM.

14          Next, please.

15          GO-Biz also launched a H2Hubs collaborator  
16 form, and this is really intended to get a deeper sense  
17 of the interested stakeholder landscape. And so, for  
18 those with projects to propose, it has a section to  
19 collect basic information about that project. Tons  
20 produced or consumed, and some — some basic information.  
21 And we're using this information to collect parties with  
22 relevant regions and workstreams and potential other  
23 partners. And so, if anyone here in the workshop is  
24 interested in participating, please feel free to add  
25 your information, the link is there on the — on the

1 right-hand side.

2           So here is a — next please.

3           This is a — a snapshot as of yesterday of our  
4 dashboard of that — of that data. And, it has already  
5 more than 100 entries. So, about half of these entries,  
6 46 of them, include a project, which is that darker blue  
7 portion on the bottom-left, a donut there. And a — and  
8 about three quarters of them include projects if you  
9 include those that have indicated that they're unsure.

10           And this chart on the right shows the tons of  
11 hydrogen produced in — in the left bars and consumed in  
12 the right bars. So, left being, like, blue — dark blue,  
13 dark purple, right being light blue, light purple. At  
14 the start, which is blue, and at the full buildout of  
15 the project, which is purple. And I know I went through  
16 that quickly, I'll say a little bit more about it.

17           The point here that I want to make is that  
18 with just these 46 projects, we're already showing 1,800  
19 metric tons per day of hydrogen produced, and 6,200 tons  
20 per day consumed. Now, one — one of these is one  
21 massive project that's — that's indicating 5,800 tons  
22 per day consumed, so it's — it's a little more balanced  
23 than it looks here. But I wanted to put this in context  
24 a little bit more.

1           Next slide, please.

2           This is another slide from the Department of  
3 Energy, showing hydrogen and fuel cells in the US today.  
4 And, I want to draw your attention to this green bar  
5 chart on — on the left here. It shows that of the ten  
6 million metric tons of hydrogen that's produced each  
7 year in the United States, 92 percent of it is dedicated  
8 to refining and ammonia and methanol and metals, which  
9 means that for uses like transportation and other things  
10 that we've been relying on here in California, it's this  
11 top eight percent in the other category, which equates  
12 to about 800 thousand tons per year.

13           Next, please.

14           And when we compare that with the production  
15 levels that have been entered just into our portal,  
16 these 46 projects estimate more than 80 percent of the  
17 production at full build out of what we're relying on  
18 now in the entire United States. So, even the hydrogen  
19 produced at the start in the blue there, is more than a  
20 quarter of what the US production is for, you know, the  
21 whole US is relying on right now for these kind of other  
22 uses. And we've just had this form up for about a  
23 month. So, there's strong interest in this market.

24           Next please.

25           Alright, so, seizing the hydrogen opportunity.

1 We must continue to create a fertile environment for  
2 market development and growth. We must continue to  
3 focus our actions on reducing the cost of renewable  
4 hydrogen. And, based on conversations that we've had,  
5 you know, GO-Biz has heard that even five to six dollars  
6 dispensed hydrogen would change the game. And  
7 flexibility is key. We need to be able to effectively  
8 respond to the market as it evolves. And, let's keep  
9 thinking outside the box, like California does so well.  
10 There will be opportunities that emerge that we're  
11 probably not even thinking about yet.

12 So, next slide.

13 In other words, let's keep thinking big.

14 Thank you, next slide.

15 Appreciate your time, thank you.

16 MS. RAITT: Thank you, Gia, appreciate that.

17 Next, we have two presenters from the Energy Commission  
18 staff. They'll be tag team, Rizaldo Aldas, and Jane  
19 Berner, please. Go ahead, thank you.

20 MR. ALDAS: Thank you. Good morning, Vice  
21 Chair Gunda, Commissioner Monahan, and everyone. So,  
22 Heather mentioned that Jane and I will be splitting the  
23 time, providing an overview of the broad efforts at CEC  
24 on hydrogen. So, I will focus on providing an overview  
25 of green hydrogen research, demonstration, and

1 deployment.

2           And before I start, I'd like to mention a  
3 couple of points there. One, is that I use the term  
4 green hydrogen, and Fritz discussed this a while ago,  
5 that you know, there are efforts that are defining  
6 renewable hydrogen, or green hydrogen, better  
7 classifying hydrogen, for example ratings of carbon  
8 intensity. We're not dealing on that. Colleagues from  
9 CPUC, and I believe from Green Hydrogen Coalition will  
10 be talking more about that. But, for our purposes in  
11 R&D, we refer to green hydrogen as being produced from  
12 renewable electricity or carbon neutral pathways.

13           The second point is that, as we have heard,  
14 hydrogen is not new. It's being used in a wide range of  
15 applications, with overall demand continuing to be  
16 dominated by its use from industrial feedstock.  
17 However, as we know, about 95 percent of commercially  
18 available hydrogen comes from fossil natural gas. And  
19 so, it uses a lot of incentives to green this hydrogen  
20 source to help, you know, our effort of decarbonization.

21           With that, can you move to the next slide,  
22 please.

23           So, the energy research and development is  
24 anchored on the science of innovation, and its core  
25 mission is to strategically invest funds to catalyze

1 change and accelerate achievement of policy goals. And  
2 we had two major sources of funding here. The Electric  
3 Program Investment Charge, and the Gas Research and  
4 Development Program. Hydrogen related efforts at ERDD,  
5 I would say is relatively new, so we don't have a lot of  
6 competing projects to feature for example.

7 But, it's expanding now, given the big  
8 emphasis on decarbonization. So, both the EPIC and Gas  
9 R&D Programs include initial things that evaluate and  
10 advance innovations in these sectors or investment  
11 areas, such as transportation, industrial  
12 decarbonization, power generation, energy storage, gas  
13 station, and integrity and technology to market.

14 Another way of looking at that is through the  
15 hydrogen supply chain. So, we had projects from  
16 production all the way to end-use and applications. And  
17 they're doing this from scientific and technical  
18 analysis to road mapping technology development,  
19 demonstration, and deployment.

20 Next slide, please.

21 So, this slide is just to show you the range  
22 of projects on our desk in Gas R&D Programs. So,  
23 between these two funding programs, CEC is investing  
24 over \$45 million for active and planned hydrogen  
25 research. In production of hydrogen, we are evaluating

1 emerging pathways to electrolysis and non-electrolysis  
2 pathways. And this includes use of solar, and green  
3 energy to produce hydrogen, and then store and use it to  
4 support grid reliability. We're also looking at low  
5 carbon renewable hydrogen research that can use  
6 feedstock other than water.

7           In hydrogen blending, we are focused on  
8 assessing the feasibility of repurposing gas  
9 infrastructure for various hydrogen blends up to 100  
10 percent. And examining potential system upgrades and  
11 associated costs.

12           And then in storage, we are assessing the  
13 technical and cost feasibility of geological hydrogen  
14 storage opportunities that support targeted hard-good  
15 decarbonized use spaces such as peaking power  
16 generation, and high temperature industrial processes.

17           And then for end use, my colleague Peter Chang  
18 will discuss the transportation research in another  
19 panel, so I'll skip that. I'll proceed to industrial  
20 applications, where we have initiatives to identify and  
21 characterize optimal co-location of industries, like  
22 clusters to share hydrogen infrastructure. We are also  
23 investigating the effects of hydrogen in end-use  
24 appliances, like identifying the impact of hydrogen and  
25 hydrogen natural gas than on existing appliances or

1 equipment, including operating parameters and  
2 concentrations with and without modification.

3           And lastly, we are conducting research on  
4 power generation and emissions control, looking at  
5 blending of hydrogen natural gas, trying to achieve at  
6 least 30 percent combined volume of blending and all the  
7 way to 100 percent, if feasible. And more importantly,  
8 we are looking at the issues of emissions, NOX emissions  
9 and developing control technologies so that hydrogen  
10 power generation, especially those located in  
11 disadvantaged communities are making sure that— meeting  
12 the strict air quality standards.

13           And, next slide, please.

14           And lastly, there is a proposed funding for  
15 green hydrogen that's waiting up about the legislators.  
16 This is \$100 million fund to advance the state of  
17 technology and demonstrate scaling of electrolyzers.  
18 Once that funding is approved, we will be moving forward  
19 with our funding of projects looking at both the onsite  
20 production and local storage, so, distributed scale of  
21 production, looking at the balance of system from  
22 production to conveyance, and onsite use.

23           And then, we also would like to use these  
24 funds to leverage federal funding for hydrogen R&D and  
25 regional hub, as discussed by Gia a while ago. There's

1 about \$2 billion allocated by DOE for electrolyzer  
2 research in addition to the \$8 million for the — for the  
3 regional hub that Gia mentioned a while ago.

4 And lastly, we will be ready to conduct a  
5 workshop once the funding's approved to bring these  
6 projects that we are looking to fund and solicit  
7 feedback and stake— from stakeholders and the public.  
8 With that, I will turn this over to Jane.

9 MS. BERNER: Thank you, Rizaldo. Good  
10 morning, everyone, I'm Jane Berner, staff in the CEC's  
11 Fuels and Transportation Division. And I'm going to  
12 provide a brief overview of what the division is doing  
13 to advance hydrogen infrastructure in California.

14 Next slide, please.

15 This slide shows a summary of investments in  
16 hydrogen infrastructure made through the Fuels and  
17 Transportation Division. These investments have largely  
18 been made through the Clean Transportation Program,  
19 established in 2007 by Assembly Bill 118. And then  
20 Assembly Bill 8 in 2013 directed the CEC to allocate \$20  
21 million annually from the Clean Transportation Program  
22 towards public hydrogen refueling stations, until there  
23 are at least 100 publicly available stations in  
24 California. The idea behind this being that these  
25 stations would enable the release of light-duty fuel

1 cell hydrogen electric vehicles, like the Toyota Mirai,  
2 in the California market.

3           Including all of the Clean Transportation  
4 Program allocations from the beginning of the program to  
5 what we expect through fiscal year 2023-24, a total of  
6 \$252 million in program funds will be going towards  
7 public hydrogen stations to support STEDs. In addition,  
8 the Clean Transportation Program is supporting renewable  
9 hydrogen production projects that will produce hydrogen  
10 from renewable feedstock, and supply that hydrogen to  
11 transportation uses.

12           Clean Transportation Program funds are also  
13 going to hydrogen refueling infrastructure projects to  
14 support medium and heavy-duty vehicles, such as trucks  
15 and busses. Several o— several of these projects will  
16 be discussed in more detail in the first afternoon panel  
17 today, that I'll be moderating.

18           These include the NorCal Zero Drayage project  
19 that received nearly \$10 million in Clean Transportation  
20 Program funds from the zero-emission drayage truck and  
21 infrastructure pilot project solicitation. This  
22 solicitation was a joint effort with the California Air  
23 Resources Board, which put forth separate funds for the  
24 zero-emission trucks, while the CEC funded the  
25 corresponding infrastructure.

1           Also in the afternoon panel, we will hear  
2 about projects that resulted from the hydrogen fuel cell  
3 demonstrations in rail and marine applications at ports  
4 solicitation, more easily said as H2RAM. This  
5 solicitation was a joint effort between the Fuels and  
6 Transportation Division, and the Energy and Research and  
7 Development Division, with FTD providing funds for  
8 infrastructure, and ERDD supporting vehicle  
9 demonstrations.

10           Most recently, the Fuels and Transportation  
11 Division has supported the launch of the Energize  
12 Program. This program will support the infrastructure  
13 needs to commercial, uh, excuse me — infrastructure  
14 needs of commercial fleets switching to zero-emission  
15 vehicles, and the program has a funding lane specific to  
16 hydrogen refueling infrastructure, which is just about  
17 to open and applications will be accepted starting June  
18 30th, at 9:00 A.M.. And adding together the funding  
19 that has gone or is planned to go to hydrogen  
20 infrastructure projects from the Clean Transportation  
21 Program, the total is over \$320 million.

22           Next slide, please.

23           I'm going to talk a little bit more about the  
24 public hydrogen refueling infrastructure that the Fuels  
25 and Transportation Division has been supporting. The

1 state has the executive order goal of reaching 200  
2 hydrogen refueling stations by 2025, and the Clean  
3 Transportation Program investments are made towards that  
4 goal.

5           Thus far, 59 stations have opened to the  
6 public, but — and most of them have received funding  
7 from the Clean Transportation Program, but eight have  
8 been built with only private investments. So, the  
9 figure on this slide breaks down those numbers between  
10 the stations that received public funds and those that  
11 were totally privately funded.

12           There's right now another 118 stations in the  
13 works, including 15 that are privately funded, and  
14 overall, we have a total planned network of 177  
15 stations. You can see that we do have a gap towards  
16 reaching 200 stations right now, and we plan to close  
17 the gap with the forthcoming solicitation using some of  
18 the current fiscal year's general funds that have been  
19 devoted to zero-emission vehicle infrastructure.

20           Next slide, please.

21           Specifically, \$27 million in general funds was  
22 allocated to closing this gap, but there's quite a lot  
23 of other funding too that can support hydrogen  
24 infrastructure. There is \$690 million that we expect to  
25 have between Clean Transportation Program and general

1 funds for medium and heavy-duty zero emission vehicles,  
2 and infrastructure. And so, this includes support for  
3 both battery-electric and hydrogen fuel-cell technology.

4 Further, there are funds being put to support  
5 in-state manufacturing of zero-emission vehicles and  
6 zero-emission vehicle infrastructure. And there was a  
7 concepts workshop already held for some of this in which  
8 concepts that include manufacturing of fuel-cell  
9 vehicles and hydrogen stations were part of the concept.  
10 And there's also additional funds for fuel production  
11 that could include renewable hydrogen production plants.  
12 And these figures do not include additional funding  
13 proposed for the Zero-emission Vehicle Infrastructure  
14 Package 2.0 in the 2022-23 budget.

15 So, that concludes my overview of the Fuels  
16 and Transportation Division activities, and I'll hand it  
17 back to Heather.

18 MS. RAITT: Great, thank you so much, Jane and  
19 Rizaldo. So, next we have Jack Chang from the CPUC.  
20 So, go ahead, Jack.

21 MR. CHAN: Thank you. Yes, I'm a Senior  
22 Hydrogen Analyst for Energy Division at CPUC. I will  
23 provide an overview today of hydrogen related  
24 proceedings, applications, and other activities at the  
25 Commission. Staff here are focused on the

1 decarbonization potential, use cases, and safety  
2 considerations surrounding hydrogen development in  
3 California.

4           Next slide, please.

5           The CPUC is engaged in three general  
6 categories of hydrogen work. The first category  
7 involves studying the safety, costs, potential  
8 environmental benefits of blending hydrogen into the  
9 natural gas system. The second category analyzes  
10 Southern California Gas Company's Angeles link  
11 application, which requests permission to establish a  
12 memorandum account for the costs of performing  
13 foundational work needed to build a new hydrogen  
14 pipeline network connecting hydrogen production in  
15 Eastern California with potential hydrogen customers in  
16 the LA basin.

17           CPUC is also analyzing hydrogen's role in  
18 diverse initiatives such as the Self-Generation  
19 Incentive Program, the Integrated Resource Plan  
20 Proceeding, and as we just heard, the \$8 billion federal  
21 Hydrogen Hubs Initiative.

22           Next slide, please.

23           So, the Commission's hydrogen blending  
24 feasibility work began with Decision 1401034, which  
25 found hydrogen to be a constituent of concern posing a

1 potential threat to pipeline integrity. As a result of  
2 that decision, the Commission now has an established  
3 trigger level of a tenth of a percent hydrogen in the  
4 methane stream, after which, additional testing and  
5 analysis of the gas source would be required.

6 Phase four of Rulemaking 1302008, requires the  
7 Commission to determine safe hydrogen injection levels,  
8 and to define renewable hydrogen for the purposes of  
9 determining what kind of hydrogen California may want to  
10 blend into the pipeline system to help meet its  
11 environmental objectives.

12 PG&E, SoCalGas, San Diego Gas and Electric,  
13 and SouthWest Gas Company jointly filed an application  
14 in 2020 requesting authorization to perform hydrogen  
15 blending tests in California's common carrier pipeline.  
16 The CPUC rejected the application due to what it  
17 determined was incomplete information provided by the  
18 IOU's. But, the CPUC did invite the utilities to refile  
19 their application after considering forthcoming research  
20 findings, including a CPUC commissioned report by UC  
21 Riverside on hydrogen blending that is anticipated to be  
22 finalized and released later this summer.

23 Last month, PG&E announced a stand-alone  
24 hydrogen blending project they called Hydrogen to  
25 Infinity, but PG&E has not yet sought approval for the

1 project from the CPUC. In all this work, safety will  
2 always come first and foremost when it comes to hydrogen  
3 blending, and we want to make absolute certain that  
4 anything the CPUC authorizes will not lead to unsafe  
5 outcomes.

6 Hydrogen has been blended into the methane  
7 stream in other states and countries, but California  
8 infrastructure is not necessarily the same as elsewhere,  
9 so we need to move forward with caution to ensure  
10 beneficial outcomes.

11 Next slide, please.

12 The CPUC is also examining an application  
13 filed by SoCalGas to establish a memorandum account the  
14 foundational work costs that I described earlier. As —  
15 you'll hear more later from SoCalGas about this project,  
16 but if the application currently pending at the CPUC is  
17 approved, the Commission would still need to decide  
18 whether to authorize the recovery of pipeline costs  
19 recorded in the memorandum accounts.

20 The application describes three project  
21 phases. Phase one would conduct a pre-front-end  
22 engineering and design analysis, or FEED. This phase is  
23 estimated to cost \$26 million. Phase two would identify  
24 a preferred pipeline design, and conduct further design  
25 engineering and environmental studies, including a FEED

1 analysis, and this phase is estimated to cost \$92  
2 million. Phase three would prepare permit applications,  
3 including the application for a certificate of public  
4 means and necessity, or a CPCN. And this is estimated  
5 to cost several hundreds of millions of dollars as  
6 described in the application.

7 This proposed pipeline would transport  
8 independently produced green electrolytic hydrogen,  
9 produced in the desert to the basin for the purposes of  
10 power generation, power to electrify industrial uses,  
11 and transportation, at least as currently described in  
12 SoCalGas' application. Opening briefs are currently  
13 being accepted as part of this application.

14 Next slide, please.

15 CUPC is also considering hydrogen uses in  
16 three other areas. Decision 2106005 established a  
17 definition of renewable hydrogen specifically for the  
18 Self-Generation Incentive Program. That program  
19 provides financial incentives for distributed energy  
20 generation and storage, and that decision defined  
21 renewable hydrogen as that produced through non-  
22 combustion, thermal conversion of biomass, or through  
23 electrolysis using 100 percent renewable electricity.

24 Another area the CPU— where the CPUC has  
25 discussed possible hydrogen use is in its Integrated

1 Resource Plan proceeding, which has examined how  
2 electricity generator might use hydrogen to meet the  
3 state's future energy resource needs. Ultimately, the  
4 CPUC did not require generators to use hydrogen in those  
5 resource plans, but hydrogen may be included in future  
6 IREPs, Integrated Resource Plans.

7           Finally, the CPUC is working with other  
8 stakeholders on California's application for Federal  
9 Bipartisan Infrastructure Plan funds, as you just heard  
10 from Gia. And, the Governor's Office of Business and  
11 Economic Development is supporting that effort.

12           Next slide, please.

13           Hydrogen is impacting a diverse and growing  
14 portfolio of CPUC work areas. We would be glad to  
15 answer any questions you might have about this work.  
16 Thank you very much.

17           MS. RAITT: Thank you, Jack. Commissioner, I  
18 don't know if you have any questions for our panelists?

19           VICE CHAIR GUNDA: Thank you, Heather. I know  
20 we have ten minutes, so we'll — we'll try to keep as  
21 many questions as we can. So first of all, I just want  
22 to say excellent presentations. Thank you for  
23 summarizing the state of play, and the — and the kind of  
24 broad thinking. Maureen, Gia, Rizaldo and Jack, thank  
25 you so much, as well as Jane. Thank you for your

1 presentation.

2           Couple of high-level questions. Gia, you  
3 mentioned in your presentation, you know, the  
4 underpinning of — of equity and, you know, workforce  
5 development. Just wanted to, you know, across, you  
6 know, all our four speakers, could we just highlight,  
7 you know, the work that the state is doing in terms of  
8 community engagement, especially as it pertains to the  
9 future of hydrogen and, you know, what you see as some  
10 of the key concerns that we need to address as we move  
11 forward, along with workforce development.

12           MS. VACIN: Yeah, I — I can start. Thank you  
13 for the question. Yes, I think that we — this is a key  
14 part of the application. It's also something that DOE  
15 is highlighting as I mentioned. So, the way that we've  
16 been approaching it so far in terms of engagement is —  
17 is working within and collaborating with the regional  
18 partners, right? So, in the — because a lot of this is  
19 very place based, and it — it changes, and needs are  
20 different in different places.

21           So, the engagement has been primarily through  
22 the efforts of those partners that are working in the  
23 regional areas. So, in Los Angeles, for example, we've  
24 been working closely with the Mayor's Office, and the

1 Port of LA, and as well as LADWP, and they've been  
2 working, you know, they have a motion on their own,  
3 they've been going out into the community, they've been,  
4 you know, explaining what they're intending to do with  
5 projects proposed in that area. And so, it's been  
6 pretty on the ground in that way.

7           Bigger picture, I think we will need to be  
8 able to — a need that we will have, in addition to  
9 meaningfully engaging and getting feedback about what  
10 the needs are, is to be able to describe the key metrics  
11 that we will be able to measure, and how we're going to  
12 measure them in our application. I think that — if we  
13 think about how we'll be more competitive, we'll need to  
14 do that. And so, I think that that's a lift that we —  
15 we have ahead of us, and you know, working with the  
16 labor agency, and you know, the agencies, the other  
17 agencies, state agencies, will be — will be key.

18           So, that's been our approach so far. I think  
19 that there's more opportunity for sure to have more  
20 engagement on that front.

21           VICE CHAIR GUNDA: Thank you, Gia. I don't  
22 know if Maureen wants to comment?

23           MS. HAND: Hi. Yes, I guess I don't have an  
24 awful lot to add to that. But, but certainly, as the

1 programs and, you know — that are developed in support  
2 of the scoping plan — as they're developed, community  
3 engagement is a — a critical role, or a critical,  
4 element of those things. So, it's definitely something  
5 that we have on our radar and need to keep working at.

6 (Pause)

7 MS. BERNER: I can jump in and add that  
8 workforce development is something that the Clean  
9 Transportation Program has supported, also including  
10 things like developing curriculum for fuel cell  
11 electricity vehicle maintenance, and we expect to  
12 continue to support those kinds of initiatives.

13 And, I think we, like Gia mentioned, I think  
14 we're always looking for better metrics for equity when  
15 we do our solicitations, including for hydrogen  
16 refueling infrastructure. But generally, we always try  
17 to have project applicants tell us about how they're  
18 going to benefit disadvantaged communities economically,  
19 environmentally, sustainability wise, and, you know,  
20 better ways to do that is something we're always looking  
21 towards. There's a lot of different groups that we hear  
22 from in our — in our public workshops, and increasingly  
23 community group members to, and I think the word about  
24 hydrogen is getting out there, and so that's great that  
25 we see more and more stakeholders getting involved and

1 we'll do what we can to continue to push that.

2 MR. ALDAS: Not much to add from here, but  
3 just to mention that providing equity and support to  
4 disadvantaged communities are part of our focuses there.  
5 I just want to mention maybe a couple of technical  
6 challenges that we've been hearing, particularly from  
7 environmental group, or — and or other communities, in  
8 that there are concerns about the safety of hydrogen,  
9 leakage, global warming potential, so a lot of work I  
10 think will be needed to make sure that we address that.

11 Water use has come up quite a few times, the  
12 amount of water that we need to — that will be expected  
13 to be needed, and then of course, emissions. I  
14 mentioned a while ago, particularly for you will be  
15 using hydrogen for combustion, whether it's in  
16 appliances or power generation. Emission will come up.  
17 And lastly, just the overall efficiency of the whole  
18 thing where, right now, if you talk about the process,  
19 it's a consumes a lot of electricity, you're able to  
20 keep maybe the most or the most 70 to 75 percent.

21 MS. VACIN: Maybe I could add just one more  
22 thing. And Rizaldo, it occurs to me, listening to my  
23 colleagues, you know, make their comments, I think that  
24 there is — what we hear, is that there is — there is  
25 some misunderstanding and misconception about hydrogen,

1 and fear, understandably, about safety, about whether it  
2 really is doing what it says it's going to do, you know,  
3 a lot of different things.

4           And I think from the state perspective, we  
5 have a — a big opportunity to think about how we can  
6 provide more information, answer questions, do better  
7 engagement, and so I think every agency does that in —  
8 in its own way, and maybe smaller ways, but if we think  
9 about transitioning our energy system and the role that  
10 hydrogen's going to play, I see that there is an  
11 opportunity for the state to take a bigger role in sort  
12 of broader understanding of hydrogen, and opportunity  
13 for people to voice their concerns, and for us to have  
14 to have great answers for them. Thank you.

15           VICE CHAIR GUNDA: Yeah, thank you, Gia and  
16 thanks everybody on your responses. I think there's a —  
17 I mean, we're all doing this really well. But given one  
18 of the themes of the IEPR this year is to really advance  
19 equity as a part of the energy transition. And one of  
20 the recent workshops we heard, you know, we don't want  
21 to advance any more really, we want to achieve equity.  
22 And, you know, so it really requires a lot of active  
23 engagement with communities.

24           You know, given the enormity of the transition  
25 we are going through, what we don't want to find

1 ourselves is kind of, we — we move forward, you know,  
2 10-15-20 steps, and find that we're all not on the same  
3 page. So, I would really appreciate the communication  
4 and — and trust building that hydrogen is a great  
5 opportunity for the state, and want to be able to do it  
6 as collaboratively and as collectively as we can. So,  
7 just appreciate all your work and — and continue to ask  
8 for your advancement on that.

9           So, one point to David Erne and Heather as we  
10 think about writing the IEPR chapter on hydrogen,  
11 there's some excellent information that was provided by  
12 the panelists today. Thinking about a visual that could  
13 be used to really think about the overall investments of  
14 the agency and the state and hydrogen, but also looking  
15 at the policy landscape and the timeline. I think it  
16 will be just helpful places for us to think about this  
17 system wide.

18           (Pause)

19           COMMISSIONER MONAHAN: Well, I — I want to  
20 build on the theme that Vice Chair Gunda has raised  
21 around equity, and just, you know call out this tension  
22 that exists between sticking with the colors of  
23 hydrogen, which is what the global community is doing,  
24 versus a carbon — a pure carbon accounting, as Fritz

1 talked about, and as we see in the low-carbon fuel  
2 standard.

3 I would say that — that this issue is, I  
4 think, where the environmental justice community, or  
5 some in the environmental justice community has raised  
6 concerns around using fossil natural gas to create  
7 hydrogen, and then capping emissions from methane, from  
8 contained animal feed operations in the Midwest. And I  
9 think that — that tension, I want to bring that to light  
10 as something that we need to navigate as a state, and we  
11 need to really think through what our endgame is, and  
12 what are the investments that we need to get there.

13 I would say there's an advantage to the  
14 colors, because everybody knows what they are.  
15 Globally, everybody's using that same set of  
16 definitions, and it's — I would just say clearer about  
17 what the processes is to actually develop that hydrogen.  
18 So, I want to call that out as something that we need to  
19 think through as a state. And especially as we move  
20 with the hydrogen hub, I saw Gia had renewable hydrogen  
21 and then green hydrogen as the — as what it was  
22 equivalent to, and I just think — this is an area that  
23 we want to make sure that we're doing all we can as a  
24 state to make the investments to get to where we want to

1 get at the end of the day.

2 VICE CHAIR GUNDA: Yeah, just adding to  
3 Commissioner Monahan, I think I always appreciate  
4 Commissioner Monahan's reminder on improving  
5 transparency as — as a way to building trust. And Gia,  
6 you mentioned, you know, it's important that we  
7 understand what the questions are, and then be able to  
8 answer them as we move forward.

9 So, I appreciate your leadership as we develop  
10 this \$2 billion plan, you know, application. I think it  
11 would be good for us to have some of those questions  
12 laid out now, and bring them to light and really  
13 thinking through what some of the answers could be, and  
14 I think — I think a lot of us understand the difficulty  
15 of the transition and I think the least we can do is  
16 when we ask for help from other communities, just make  
17 sure they understand what they're getting in to.

18 So, thank you so much for your work.

19 COMMISSIONER MONAHAN: Yeah, and can I just  
20 emphasize — Gia, and Go-BIZ, the Go-BIZ team has been  
21 phenomenal. I mean, this has been a really challenging  
22 process, and you guys are adeptly managing all these  
23 very committed stakeholders and it's just been really  
24 impressive to — to watch what you've been able to  
25 accomplish, and I'm sure you're working a lot of nights

1 and weekends to be able to get there. Just as Maureen  
2 and the CARB team have done with the scoping plan. So  
3 just congratulations on these major efforts to move the  
4 ball forward.

5 MR. ROTHLEDER: Yeah, this is Mark Rothleder.  
6 I just have a quick question, and I think it was alluded  
7 to that as you get into the outer years you — you start  
8 to see the loads increase to create the — the green  
9 hydrogen. When do we start having to worry about, or be  
10 — its material increase in the demand to produce the  
11 hydrogen. When does that start to get registered and be  
12 considered in the IEPR?

13 (Pause)

14 VICE CHAIR GUNDA: Maureen, do you want to  
15 respond?

16 COMMISSIONER MONAHAN: So, well, let's see. I  
17 guess I — I don't have a very particular answer. We —  
18 we — in the Draft Scoping Plan, you know, we are looking  
19 at the endpoints in 2045 and trying to understand what  
20 the technologies are that — that need to be there. And  
21 so, we are seeing growth in — in all of these  
22 technologies, vehicles, and appliances, and other  
23 infrastructure. So, everything is accelerating very  
24 soon. Anyway, I — I guess the point is that we need to

1 be planning for this increased electricity demand, and  
2 increased need for hydrogen. And, yeah. So — so, it's  
3 coming.

4 MR. ROTHLEDER: Sorry, I do appreciate that,  
5 and I understand the — the things like electric vehicles  
6 are kind of here and now, we're starting to see that,  
7 and we'll see the building stock coming soon. But,  
8 that's something, like you said, in a planning phase, we  
9 — we want to get ahead of it, we don't want to be behind  
10 in terms of supporting those new loads, so.

11 COMMISSIONER MONAHAN: I think that's a really  
12 great question. I mean, I think we also need to think  
13 about the — the water implications as Rizaldo  
14 highlighted. But — but also recognize that hydrogen is  
15 a fungible fuel. Like, we probably — we will make it  
16 here in California, and we will import it from Saudi  
17 Arabia and Australia and other places. So, it's — it  
18 may be hard to — to identify what the load is actually  
19 going to be in California.

20 VICE CHAIR GUNDA: Great points. So, just  
21 keeping on time, so I don't get in trouble with Heather,  
22 so we'll keep it moving. But I just want to say thank  
23 you all for taking the time to help us advance this  
24 conversation and get a better insight. And, as

1 Commissioner Monahan always does and reminds me to do,  
2 Maureen and Gia, you guys have been in the middle of  
3 some extraordinary efforts with the Scoping Plan and the  
4 hydrogen hub. Thank you so much for all the work you  
5 do, and continue to kind of move us forward as a state.  
6 And to our team at CEC. Jane, Rizaldo, just thank you  
7 for the work you do and Jack, thanks for joining us and  
8 all the CPUC's work recently. So, thanks all the way.  
9 And now, back to Heather, second panel.

10 MS. RAITT: Yes, thank you. Yeah, so we'll  
11 move on to our second panel. And it is on forecasts of  
12 hydrogen opportunities in an economy-wide  
13 decarbonization. And, David Erne is hear from the  
14 Energy Commission to moderate. So, go ahead, David,  
15 when you're ready.

16 MR. ERNE: Thank you, Heather. And, welcome  
17 everybody to our workshop. Thanks for joining us. You  
18 heard in the last panel, which was focused on state  
19 activities relative to hydrogen and its role for helping  
20 California move forward. This panel's going to be  
21 talking about forecasts. So, what is the — what is the  
22 hydrogen market look like now and in the future, and  
23 what are some of the better strategies, or insights on  
24 strategies for this particular end uses for hydrogen.

25 So, we have three panelists with us today to

1 give us different perspectives on that topic. First is  
2 Matthew Bravante fr— he's a US Hydrogen Analysts at  
3 Bloomberg NEF. He'll give their assessment of — of,  
4 kind of, national aspects of hydrogen market, including  
5 technology maturity, and their assessment of the best  
6 opportunity for hydrogen in California.

7           Next will be Louis Ting. He's the Director of  
8 Power, Engineering and Technical Services at LADWP. And  
9 he will give an overview of the key roles for the safety  
10 for hydrogen in and beyond the LA basin. And last, we  
11 have Yuri Freedman, Senior Director of Business  
12 Development at SoCalGas. He'll give an overview of  
13 SoCalGas' clean fuel strategy, as well as demonstration  
14 projects that they have lined up to demonstrate the  
15 ability to generate, transport, and use hydrogen for  
16 different end use applications.

17           So, with that, I'll turn it over to Matthew  
18 Bravante for our first presentation.

19           (Pause)

20           And Matthew, we can't hear you.

21           MR. BRAVANTE: Sorry about that. Hello  
22 everyone, hello everyone on the Commission and everyone  
23 in the audience. My name's Matthew Bravante, and I'm a  
24 hydrogen analyst at Bloomberg NEF, which is an energy  
25 research firm within the larger Bloomoberg LP. I'm

1 grateful to be able to speak today, about the changing  
2 landscape of hydrogen.

3           The Commission's been at the forefront of so  
4 many positive changes in the energy market. And it's  
5 wonderful to see the Commission stepping up again to  
6 lead the way on development a hydrogen economy.

7           Next slide, please.

8           Today I have split my remarks into three key  
9 points. The first of which will describe the growth we  
10 are seeing in the market all around the world.

11           Next slide.

12           The trends and excitement around hydrogen can  
13 largely be explained by the graphs on the screen. On  
14 the right, you have Bloomberg's forecast of electrolyzer  
15 capital costs. For those of you that are unfamiliar  
16 with the term, electrolyzers are the key piece of  
17 equipment to turn water and electricity into hydrogen.

18           Electrolyzers are analogous to, like, the  
19 panel in solar panels, or the wind turbine in wind  
20 power. And in a similar fashion to how we saw these  
21 panels and turbines dramatically decline in cost over  
22 the past decade, we are expecting similar cost declines  
23 in electrolyzer technology in this upcoming decade.

24           This brings me to the graph on the right,  
25 which is Bloomberg's levelized cost of hydrogen

1 forecast. The key be here, the green bar, represents  
2 the cost of renewable hydrogen, often referred to as  
3 green hydrogen, or electrolytic hydrogen, in 2021 and  
4 2030 in California, as it compares to blue hydrogen, or  
5 grey hydrogen, the two fossil fuel based pathways for  
6 hydrogen production. As you can see, the costs are set  
7 to come down dramatically. This cost reduction is key  
8 to unlocking hydrogen's potential in the energy system,  
9 and it's actually crucial to its success.

10 Next slide, please.

11 Now that we've established the idea of future  
12 cost-declines, let's move on to the current global  
13 market. Clean hydrogen is still quite a nascent market,  
14 measured in megawatts, which most energy markets are not  
15 measured in megawatts, they're measured in gigawatts or  
16 terawatts, although the market is growing rapidly. This  
17 year, we expect global shipments of electrolyzers to  
18 quadruple to roughly two gigawatts.

19 Next slide.

20 The expansion of the electrolyzer deliveries  
21 is coupled with the massive buildout of electrolyzer  
22 manufacturing capacity. The manufacturing market will  
23 more than double from 6.7 gigawatts to 13.5 gigawatts of  
24 electrolyzer capacity. There's over 100 gigawatts of  
25 electrolyzer projects in our global project pipeline,

1 and manufacturers are scaling to try and capture this  
2 future demand.

3 Next slide.

4 Now, I would like to switch gears and talk  
5 about my second key message today, which has to do with  
6 demand for hydrogen.

7 Next slide.

8 On this slide, you can see Bloomberg NEF's  
9 demand source hierarchy. At Bloomberg, we look at  
10 hydrogen as a tool for deep decarbonization. So, we  
11 structure this hierarchy in a way that will best  
12 accomplish this goal. At the top, you see sectors that  
13 need hydrogen as a chemical agent. And importantly,  
14 have no substitute for hydrogen. Following down, you'll  
15 see a group of sectors where several technologies are  
16 vying for dominance in a net-zero world. And hydrogen  
17 has some compelling characteristics to win dominance of  
18 these sectors.

19 And finally at the bottom, you have sectors  
20 where there is likely going to be a better net-zero  
21 carbon technology option that will be preferred to  
22 hydrogen, and hydrogen will not — likely not be used in  
23 large quantities. Now, if the Commission takes away one  
24 point from my entire presentation, it's this: in the  
25 near-term, clean hydrogen will be scarce resource.

1 Understanding it as a scarce resource helps us allocate  
2 it to the right demand sources for effective  
3 decarbonization, and designing policies that incentivize  
4 this allocation will be incredibly important.

5 Next slide, please.

6 I want to explore this concept of resource  
7 scarcity through an example. On the screen, you can see  
8 an estimated value for the amount of hydrogen that  
9 California currently uses in oil refineries. These are  
10 just the refineries within the state of California, and  
11 they consume roughly 800 thousand tons of hydrogen a  
12 year.

13 Next slide.

14 To meet the demand for California oil  
15 refineries, we're going to need to build a lot of  
16 renewable power, like solar and wind, and connect that  
17 renewable power to electrolyzers to produce hydrogen.  
18 Colleagues of mine at Bloomberg do some industry leading  
19 forecasts of solar and wind builds across the US, and I  
20 borrowed their forecast for California from 2022 to  
21 2025. I did some math, and the blue bars here represent  
22 how much hydrogen we could produce over the next four  
23 years from all the renewables available in California.  
24 As the red line shows, it would take 66 percent of all  
25 the renewables California will build cumulatively over

1 the next four years just to meet this demand.

2 I repeat, we would need to dedicate 66 percent  
3 of all the solar and wind that we will build in  
4 California for the next four years combined to meet the  
5 demand for California oil refineries. And this is just  
6 oil refining, this is not to mention all the ammonia  
7 that California consumes, or the power and gas markets  
8 that we would also like to decarbonize. Now, this is a  
9 big challenge, but it's not an impossible one. We would  
10 just need to find more renewables, which brings me to my  
11 next point on the next slide.

12 This chart, it's not ours, it's from — it's  
13 from the Berkeley Lab, but it shows interconnection  
14 queues for power projects in different markets. And you  
15 can see that CAISO, or California, has about 100  
16 gigawatts of solar and wind in the 2021 queue. Now,  
17 most of this queue would never get built, but the  
18 percentage of projects that make it out of the queue in  
19 California has fallen over the past several years.

20 Now, there are several challenges around land  
21 management and grid balancing, and I'm not here to say  
22 that Cal— that can — that hydrogen can fix all of that.  
23 I do, however, want to make the point that electrolyzers  
24 can become a source of flexible demand for renewable  
25 hydrogen on the California grid.

1           And electrolyzers' capital cost will fall in  
2 the future. And then, subsequently, the vast majority  
3 of the cost of the kilogram of hydrogen will just be the  
4 power cost, and it will be optimal to run these systems  
5 only in times of extremely cheap power, which California  
6 has plenty of at certain times of the day.

7           I make this point just to say that when we're  
8 starting to think about building a lot of hydrogen, we  
9 can do it in a way that's complimentary to renewables  
10 and can help decongest the grid. However, policy is  
11 going to be crucial to ensure the way that we build this  
12 hydrogen is complimentary and it's not a burden to the  
13 grid.

14           Next slide, please.

15           Lastly, I would just like to close with a  
16 quick word on hydrogen's use in the transportation  
17 sector. This is definitely where hydrogen got the most  
18 attention in early years, and still receives a lot of  
19 attention. At Bloomberg, we have a relatively  
20 pessimistic view of hydrogen in the road-transport  
21 market.

22           Looking at the data, fuel-cell ve— excuse me  
23 — fuel-cell vehicle sales are a drop in the ocean  
24 compared to passenger electric vehicle sales. Hydrogen  
25 could be applicable in heavy-duty vehicle markets, but

1 the early data is not looking favorable to that reality.  
2 On the screen, you can see model availability of  
3 battery-electric and fuel-cell electric vehicles today,  
4 and on the right, you can see the max and average range  
5 of the technologies available today.

6 Now, the jury is still very much out on the  
7 heavy-duty vehicle segment. But battery technology will  
8 continue to advance alongside fuel-cell technology. And  
9 batteries have a big lead right now. In terms of  
10 scaling, success begets success, and as more companies  
11 switch to battery-electric vehicles, we think we'll see  
12 more innovation in the battery space.

13 And this brings me to my summary points on the  
14 next slide.

15 So, today, I would like to take — I would like  
16 you to take away three key points. First, is that  
17 electrolyzers are becoming cheaper and more abundant,  
18 which will lead to cheaper hydrogen. In the near term,  
19 clean hydrogen will be a scarce resource, and it should  
20 be thought of as a valuable tool for deep  
21 decarbonization, and it should only be allocated in a  
22 manner that is conscience—conscious of its scarcity.  
23 And then lastly, hydrogen can relieve interconnection  
24 challenges, and provide a higher value market for  
25 renewables competing in a low-price electricity

1 environment.

2           That's it, and I look forward to your  
3 questions. Thank you.

4           MR. ERNE: Thank you, Matt. We're going to  
5 hold questions until all the panelists have spoken. So,  
6 I'll move next to Louis.

7           MR. TING: Thank you, David. Good morning,  
8 Vice Chair Gunda, Commissioner Monahan, and esteemed  
9 colleagues. Thank you for the time for — for me, Louis  
10 Ting here, I'm Director of Engineering and Power  
11 Technical Services. Thank you for the time.

12           And, as my colleague have presented previously  
13 on LA water study that we finished last March, and what  
14 investment it will take to reach our zero-carbon goals  
15 for our electric grid, and the updates on our hydrogen  
16 efforts for — for us. Not just the high DLA partial  
17 with the Green Hydrogen Coalition, and the status of our  
18 — the renewal of the Re-power Projects or the  
19 Intermountain Project.

20           Today, I want to update you all the CLA's  
21 initiative to engage a much broader stakeholder base to  
22 essentially map out pathways to further decarbonize  
23 across all sectors, especially focusing on the hard to  
24 decarbonize businesses and sectors that we — we partner  
25 with.

1           Next slide, please.

2           So, essentially, our engagement and the  
3   collaboration are underway. And this includes — and of  
4   course that was in — as Gia mentioned, that — that we  
5   — our city council had a motion for us to go after the  
6   — the hydrogen hub effort. And this includes our state  
7   partners, our collaborators, and — and our city  
8   agencies, which I listed some of them up there, and our  
9   industrial customers. And very importantly, what's not  
10  pictured there is our local communities and our labor  
11  partners for workforce development and all the  
12  community-based organizations essentially addressing  
13  their concerns. And that's what's underway already.

14           As — as Fritz mentioned very well earlier, the  
15  chicken or the egg problem with hydrogen. As you can  
16  see, most of the — the pillars here, I call it, it's  
17  going to be demand. We're going to be the — the demand  
18  of hydrogen for the city. For example, the Port of Los  
19  Angeles and also the Port of Long Beach next door, it —  
20  it holds about 18 thousand drayage trucks on any given  
21  day. And that is a huge potential. Understanding  
22  Bloomberg's point about heavy-duty vehicles, but there's  
23  also other potentials right at the ports itself with  
24  their yard equipments.

1           So, there's a significant amount of yard  
2 equipment consuming a significant amount of — of fossil  
3 fuel today, that may be decarbonized through hydrogen.  
4 More important, and for the future out, we believe that  
5 the — the maritime industry could be decarbonized  
6 through green hydrogen, whether it's through ammonia, or  
7 — or water technologies that — that they're looking at.

8           On a similar fashion, the aviation industry  
9 may be coming along looking at potential decarbonization  
10 through hydrogen or green hydrogen, besides the — the  
11 sustainable air— airline fuels and so forth, aviation  
12 fuels. But also, within the — the rural airport  
13 premise, there's significant amount of equipment that  
14 could be decarbonized also through green hydrogen. And  
15 more importunately the co-gen units that they have  
16 today. They — they truly want to decarbonize through  
17 green hydrogen, just like us, with the Department of  
18 Water and Power.

19           What's real interesting here was the notation  
20 that they are also a — a potential producer of hydrogen.  
21 That solves a little bit of the supply issues, supply  
22 and demand there. With their food wastes, obviously,  
23 there's technology already here today that can do that.

24           More importantly, sanitation had reached out

1 to us with regards to their recycled water potential by  
2 2035. They want us to help them to get to the 100  
3 percent recycled capacity. Right now, today, I believe  
4 they're around 70-75 percent capacity that they can  
5 recycle their water. So, with that said, I know Fritz  
6 also mentioned water conservation and Commissioner  
7 Monahan also mentioned water conservation. Really  
8 important to us, because we know that the 100 percent  
9 that recycles is going to be — it's already been spoken  
10 for many times in the City of Lo— LA.

11 We're looking at other agency, other water  
12 agencies potentially, and other means of storing water  
13 locally with all the local water storage efforts that  
14 we're doing, to make sure that water conservation is —  
15 is driving a lot of the key decisions that we'll have  
16 with green hydrogen within the — in — based in LA.

17 Doesn't have — I don't have to mention too  
18 much with our Department of Water and Power, we have  
19 four in basin plants, power plants, that use natural gas  
20 today that we're looking at how to decarbonize, and  
21 green hydrogen is definitely one of the best pathways  
22 that we've found through the LA water studies.

23 And, the — our C&I customers, besides the  
24 heavy-duty trucking, we also have significant plans

1 within the reach of LA region, and — and that can  
2 potentially also be decarbonized through that effort of  
3 a collaboration that we talked about here with the hub.

4 Next slide, please.

5 Real quickly, on the LA 100 Study. Just a  
6 quick recap, I know most of you have probably heard this  
7 already. But, LA 100 Study wa— na— partnered with  
8 National Renewable Energy Lab, essentially the  
9 conclusion is, 100 percent renewable energy is  
10 achievable through multiple pathways. To — the key to  
11 affordability, by the time we get to 100 percent, is  
12 high building and transportation and electrification.  
13 That is shown through the models.

14 And the range of costs to get to 100 percent  
15 is anywhere from 57 billion to 87 billion in addition  
16 existing infrastructure obligations. For example, for  
17 reliability and for — and resilience. There will be a  
18 significant amount of job creation through all the  
19 pathways. Approximately 9,500 jobs across all sectors,  
20 and — and very importantly, we can achieve this by 2035,  
21 as our City Council has asked us to do.

22 And — and there are common investments across  
23 all pathways to 100 percent. And, what I want to focus  
24 on today, really, is just the bottom right that says

1 green hydrogen. Because, the last 10 percent of the 100  
2 percent renewable effort by 2035 is really that last 10  
3 percent. How do we get there? And, we're looking at  
4 renewable fuel and dispatchable turbines to make sure  
5 that because of our — our vast amount of transmission  
6 through the west, we — we want to continue to import  
7 those renewables for our — for — from — for geographic  
8 diversity purposes, but also for reliability purposes.

9           And — and we definitely need the — the  
10 reliability must runs units within the basin to — to  
11 make our transmission more — more reliable and also more  
12 resilient.

13           Next slide, please.

14           So, as part of our transforming our local  
15 generation, and LA 100 ha— again, has shown that very  
16 succinctly, that we need in-basin reliable combustion  
17 generation. And not because there's not enough storage  
18 technology out there, we will have over 2,000 megawatts  
19 of in-basin and out of basin storage technology as shown  
20 with the LA 100 modeling. But we will need  
21 dispatchable, firm generation in-basin in order to  
22 import a lot of those renewables. And — and LA 100  
23 study also assumed all of the scenarios to have hydrogen  
24 and — and we already talked about the hard-to-electrify

1 industries and — that we have within the LA basin's  
2 reach.

3           So, with that, one of our efforts is that we  
4 submitted a — we solicited requests for information back  
5 in August last year. And it was very daunting that —  
6 how many of the existing technology and companies that  
7 are already out there throughout the world, that showed  
8 us what they can do. And — and mainly this RFI focused  
9 on the in-basin generating stations, the four in-basin  
10 generating stations that we have. And — and covers  
11 environmental stewardships, safety aspects, how — how do  
12 we operate hydrogen safely, and — and what pathways  
13 technology-wise to get to the green hydrogen. And —  
14 I'll talk a little bit more about it.

15           Next slide, please.

16           So, here — here are the results from this RFI.  
17 And we're about finishing all the evaluations. And the  
18 reason it took us a while, is because we — we received  
19 36 submittals, and these are voluminous submittals.  
20 These are not RFP's, but these are RFI's. But still, we  
21 received significant amount of information from 26  
22 individual companies. And 20 out of those 36 — 22  
23 addressed multiple technology of interest.

24           And some of those responding industry included

1 turbine OEM's, safety products from — from existing very  
2 well-established safety — hydrogen safety companies,  
3 renewable developers, obviously, and green hydrogen — or  
4 green ammonia producers, fuel cell manufacturers, we got  
5 consultants, project developers, and existing gas  
6 providers. So, very diverse and we're — we're about to  
7 finish our analysis and there'll be — hopefully we'll  
8 present it to our board and also our council very soon  
9 here.

10           Next slide, please.

11           One of the potential is — is describing entire  
12 paths from generation with renewable energy to  
13 production of hydrogen. And also, not just the — the  
14 path, but the process and the procedures and the type of  
15 equipment, the storage — including storage, potential  
16 storage in-basin, and also the pipelines that gets the —  
17 the hydrogen to our four in-basin plants, which was the  
18 scope of the RFI. And, this is the very simplistic  
19 illustration of what was included in —in one or multiple  
20 of the R— the proposal that we see for the RFI.

21           Next slide, please.

22           As you are very well aware of the — the HYDEAL  
23 LA, the first effort, the first phase, partnering with  
24 Green Hydrogen Coalition, and many — several — many

1 partners within that coalition. The key focus for the  
2 phase one, and essentially, we found out that — that  
3 green hydrogen is doable within the region in LA by 2035  
4 within the — the affordability making it more economic.

5           What phase two will — this is HYDEAL LA 2 now.  
6 What phase two will focus on, besides looking at  
7 additional offtakes and — and — for ocean shipping,  
8 aviation, and heavy-duty trucking — what really, we want  
9 to focus, and the team want to focus, is that the  
10 engagement with the local stakeholders. Underserved  
11 communities, really to identify and align the value-  
12 proposition of green hydrogen, what it can provides, and  
13 addressing their concerns, right?

14           And, within emphasis on equity, obviously  
15 pollution reduction, and — and talk about job creation  
16 and most important, economic development within those  
17 regions. And so, that will be the HYDEAL LA phase two,  
18 that we're partnering with Green Hydrogen Coalition.

19           Next slide, please.

20           And, I know you — you all heard about the IPP  
21 project, this is the Delta-Utah project that — that Los  
22 Angeles Department of Water and Power has a DC  
23 transmission line all the way from there down to  
24 Adelanto, here, and directly connected to our AC system

1 of transmission. That project has — has been — made  
2 some significant progress. And, some of the progress  
3 that you see up on the right-hand side there, by — in  
4 2020, we — we committed with the — the IPA committed  
5 with — the Intermountain Power Agency committed with  
6 Mitsubishi to — to essentially, to procure the 840  
7 megawatts of combined cycle, which replaces today's  
8 1,800 megawatts of coal.

9           And by 2025, you'll be able to utilize 30  
10 percent of green hydrogen. And by 2045, it's the target  
11 for 100 percent usage of hydrogen. And that project  
12 alone is not — it's just part of the project for the  
13 power island. Also included, obviously, the site  
14 preparation, the switchyard expansion, but also the —  
15 the power island EPC construction. So, all those are —  
16 are all secure on their way. We do expect to be in  
17 commission and also tested and in-service by 2025.

18           What's — what's really important and — in the  
19 Intermountain Power Agency, but also out of the  
20 stakeholders within this project, very proud that — that  
21 in just in this month, DOE, the Loan Program Office, has  
22 essentially — we secured a 504 million loan through DOE,  
23 and that's one of the largest loan, I believe, that this  
24 administration has granted.

1           And, the picture to the left of the text  
2 there, it's an artist's rendering of what that initial  
3 504 million will be. Essentially a phase — the first  
4 phase. And that will include 100 meg— metric tons of  
5 green hydrogen per day through electrolysis, two salt  
6 caverns, and each capable of storing 150 gigawatt-hours  
7 of energy. And what that picture doesn't depict and  
8 doesn't show is the underground caverns. The potential  
9 at that location is significant, and that's why it was  
10 almost a no-brainer to do clean-hydrogen capacity and  
11 firm and dispatchable capacity at that location, because  
12 of the geological formation there.

13           And, I will f— and next slide, and I will  
14 conclude my presentation here. Thank you.

15           MR. ERNE: Thank you, Louis, appreciate your  
16 remarks and look forward to hearing more about the  
17 assessment of the RFI results as that gets concluded.

18           So, our last speaker is Yuri, so Yuri, you've  
19 got your slides pulled up. Would you like to begin your  
20 presentation?

21           MR. FREEDMAN: Hello, thank you very much,  
22 David. Good morning, everyone, and thank you for the  
23 opportunity to be here. Thank you, Vice Chair Gunda,  
24 and Commissioner Monahan for inviting us to the  
25 discussion. I'm Yuri Freedman, Senior Director of

1 Business Development at SoCalGas. In my role, I manage  
2 SoCalGas portfolio growth initiatives, and RD&D  
3 activities, including development of clean hydrogen  
4 infrastructure.

5 Next slide, please.

6 At SoCalGas, we are working on shaping  
7 California's 21st century energy system to update the  
8 adoption of clean energy components, such as hydrogen,  
9 renewable natural gas, fuel cells, carbon capture and  
10 storage, and others. Key milestones of our journey  
11 towards carbon neutrality including our climate  
12 commitment, clean fuels white paper, and Angeles Link  
13 announcement are depicted on this slide. And I will  
14 talk more about some of them later in the presentation.

15 I'd like to focus my opening remarks today on  
16 three key points. First, the role of clean hy—  
17 molecules in achieving decarbonization. The second, the  
18 central role of hydrogen on the spectrum of these clean  
19 molecules. And the third, is the role that SoCalGas can  
20 play in achieving carbon neutrality. I'll specifically  
21 mention that two projects we are working on: Angeles  
22 Link, and H2Hydrogen Home.

23 Next slide, please.

24 To set the stage, please let me refer to  
25 analysis conducted by Bloomberg New Energy Finance, the

1 company of my fellow panelist, Matt. And I will direct  
2 you to the red box on the right-hand side of this chart.  
3 As you can see from this chart, in this analysis, the  
4 contribution of clean molecules and clean electrons  
5 toward meeting energy demand in a net-zero economy is  
6 approximately equal.

7           That means that we have to apply as much  
8 effort to adoption of clean molecules as we have applied  
9 to adoption of clean electrons, to successfully execute  
10 the energy transition. In truth, the energy system of  
11 the future will be highly integrated, where clean  
12 molecules will be supporting clean electrons working  
13 together to achieve maximum emissions reduction, while  
14 maintaining reliability and resilience.

15           Next slide, please.

16           Last October, SoCalGas published an economy-  
17 wide decarbonization analysis, detailing the role of  
18 clean fuels network to help the state reach net-zero.  
19 This analysis, which was independently reviewed and  
20 verified by academic researchers, demonstrates that  
21 clean, renewable electrons and clean gas molecules are  
22 not competitors, but in fact, compliment each other's  
23 strength.

24           Our work shows that the electrifica—  
25 electrification, excuse me, combined with clean fuels

1 like hydrogen, and carbon management, and fuel cells,  
2 delivered the most affordable, resilient, and  
3 technologically proven path for carbon neutrality. In  
4 that, our conclusions are entirely consistent with those  
5 reached by Bloomberg New Energy Finance on a global  
6 scale, as shown earlier. Right now, I'll spend some  
7 time on why hydrogen is going to be a critical element  
8 for decarbonization.

9           Next slide, please.

10           On one hand, hydrogen is remarkably  
11 complimentary to renewables. It is now widely  
12 recognized that growth of renewable generation, the  
13 energy mix will widen the imbalance between timing of  
14 supply of power and demand for it. Not only on the  
15 intra-day basis, known as the dark curve, but also on  
16 the inter-seasonal basis. Quite simply, hydrogen is an  
17 attractive, and perhaps, the only scalable way to store  
18 this excess energy in large amounts for long periods of  
19 time.

20           On the other hand, as you can see on this  
21 chart, hydrogen can be deployed across a very broad  
22 range of end-use applications. In fact, it can be used  
23 in all sectors currently using natural gas. In  
24 addition, it can also be used in transportation as a  
25 fuel for fuel-cell electric vehicles, which of course

1 has a particular rel— relevance in California where  
2 transportation accounts for the largest share of  
3 emissions.

4           We are doing exploration of global momentum  
5 and hydrogen in Europe and — and Asia, have their peaked  
6 by environmental goals, as well as sharp prioritization  
7 of security concerns due to Russia's invasion in the  
8 Ukraine. Our European colleagues also understand that  
9 gas systems are essential to supporting continued  
10 decarbonization across the full range of energy and  
11 emissions in intensive sector. As evidenced by European  
12 Hydrogen Backbone Initiative results, within this  
13 initiative, 31 companies, 21 countries in Europe worked  
14 together to map out continent-wide hydrogen network.  
15 And amount the conclusions was the fact that more than  
16 60 percent of that network can be build using repurposed  
17 gas pipelines.

18           Here at home, the Bipartisan Infrastructure  
19 Law includes \$8 billion program to development regional  
20 clean hydrogen hubs across America. And the — we  
21 believe, as Gia described, that California is in an  
22 excellent position to capitalize on this opportunity.  
23 Now, about our efforts in hydrogen.

24           Next slide, please.

25           (Pause)

1 Oh, thank you.

2 First, let me turn to large green hydrogen  
3 infrastructure project we are working on. Recently,  
4 announced our proposal to develop Angeles Link, what  
5 could be the nation's largest green hydrogen energy  
6 infrastructure system, to deliver energy, clean energy,  
7 and reliable energy to the Los Angeles basin.

8 The Los Angeles basin, as many of you know, is  
9 home to the largest port in the western hemisphere. And  
10 the country's largest manufacturing center, making it  
11 home to many potential green hydrogen end users. As  
12 such, we envision the Angeles Link's green hydrogen  
13 could power heavy-duty transportation, dispatchable  
14 electric generation, including what Louis covered  
15 earlier, and manufacturing in the region, reducing  
16 California's emissions, and helping accelerate achieving  
17 our climate goals. As demand for green hydrogen grows,  
18 and as the Los Angeles basin's green hydrogen economy  
19 scales up, we expect it will also include aviation,  
20 shipping, and chemical manufacturing, among others.

21 Next slide, please.

22 The next slide lays out the key elements of  
23 hydrogen value chain, beginning from renewable power to  
24 production of hydrogen by electrolysis, to  
25 transportation of hydrogen to end-users, which is what

1 represents Angeles Link, and ultimately, using it was,  
2 as you can see very significant emissions reduction  
3 benefits.

4           We identified three phases of the project as  
5 it moves forward. First, is preliminary engineering  
6 design and environmental studies. Second one is the  
7 field study. And the third one is the development of  
8 the formal — formal application for CPCM for the  
9 potential project.

10           Importantly, we envision engaging stakeholders  
11 early on and maintaining this engagement for the course  
12 of developing the project. We are committed to make  
13 sure that stakeholders, environmental organizations, and  
14 the public would have a voice and a seat at the table in  
15 the Angeles Link development process, with equity at the  
16 top of our priority list.

17           Next slide, please.

18           In this context, I would like to spend a  
19 little of time to discuss the opportunity of hydrogen  
20 offers for transportation decarbonization. This slide  
21 describes complimentary to battery and fuel-cell  
22 vehicles, which, by the way, of course are both electric  
23 vehicles. And that complimentary depicted across the  
24 broad range of transportation sector, as a function of  
25 load weight and travel duration. We observed many

1 manufacturers recognize that, and we are satisfied to  
2 see many of them turning to producing fuel-cell battery  
3 trucks.

4           But what I really wanted to point out while  
5 covering this slide, is the really important point to  
6 act on. There are more than 20 thousand diesel trucks  
7 that transport containers from Ports of Los Angeles and  
8 Long Beach. These trucks are often travelling through  
9 disadvantaged communities, which results in increased  
10 air pollution and direct public health impact on people  
11 living there. Displacing these diesel trucks with fuel-  
12 cell electric trucks would constitute a major act of  
13 achieving environmental and social equity, that I  
14 believe we would be proud of our state.

15           Let's go to the next slide please.

16           In parallel with our infrastructure  
17 development efforts, we are actively engaged in multiple  
18 pilot projects related to hydrogen across the value  
19 chain, including production, transportation, and use.  
20 And today, I'd like to talk about one of them, it's the  
21 H2 Hydrogen Home.

22           Next slide, please.

23           This is our award-winning H2 Hydrogen Home.  
24 The project that aims to demonstrate how carbon-free gas  
25 made from renewable electricity can be used to fuel

1 clean energy systems of the future. Specifically, this  
2 project will demonstrate in real life complementarity of  
3 renewables and hydrogen by producing hydrogen by  
4 electrolysis by using carbon-free energy from an  
5 adjacent solar panel. It will demonstrate safe storage  
6 of hydrogen with storage tank, and it will demonstrate  
7 that hydrogen can be used in a fuel-cell to power  
8 eventual homes, provide the entire resiliency for  
9 multiple base with zero-emissions in the face of risks  
10 of power supply interactions. Excuse me, interruptions.

11           To conclude, SoCal Gas is uniquely positioned  
12 to in— to ensure California meets their climate goals,  
13 in particular through the adoption of hydrogen. Our  
14 projects like Angeles Link and H2 Hydrogen Home will  
15 play a crucial role in building the 21st end of century  
16 energy system, providing secure, resilient and  
17 affordable access to clean energy for consumers in  
18 California, and creating an example for the US and  
19 around the world.

20           This concludes my presentation. Thank you  
21 once again for the opportunity to be here and discuss  
22 with you this very important topic.

23           (Pause)

24           MR. ERNE: Thank you, Yuri. So, if we could  
25 have all three of the panelists turn their video on, we

1 can turn to Vice Chair for questions.

2 VICE CHAIR GUNDA: Thank you, David. Again,  
3 excellent presentations. Just really thankful to Matt,  
4 Louis, and Yuri. I thought you all set up the context  
5 really, really well.

6 I have a couple of questions. Maybe just  
7 starting with Matthew, but before I go into the  
8 questions, I know on time, we were supposed to go until  
9 12:10, so I want to keep it to that so we can have  
10 questions from the public and then we can still  
11 accommodate that.

12 So, Matthew mentioned, you know, just the  
13 dramatic drop in cost of hydrogen moving forward and  
14 electrolyzers. Could you just kind of lay out some  
15 reasons for that?

16 MR. BRAVANTE: Sure. So, I'll — can you —  
17 can you guys hear me okay?

18 VICE CHAIR GUNDA: Yeah, absolutely.

19 MR. BRAVANTE: I'll say, just from the start,  
20 the prices I was showing on the screen were for western  
21 alkaline electrolyzers. So, alkaline electrolyzers made  
22 in western nations, the US, and Europe. And the capital  
23 cost there was about, you know, 100 — or \$1,200 to  
24 \$1,400 per kilowatt. Where we're already seeing prices  
25 in China going forward at, you know, \$200 to \$300 per

1 kilowatt.

2           So, it's not so much of a can we achieve  
3 capital costs, you know, at this low price, it's, you  
4 know, what is it going to take to — to catch up,  
5 basically. And there are, you know, some — some  
6 lingering questions about performance and stuff related  
7 to — to Chinese electrolyzers. But really, it's a  
8 matter of — of scale, and a better match between supply  
9 and demand.

10           So, I don't know if you saw in my charts, but,  
11 in the first — and when I was talking about projects and  
12 manufacturing capacity, there's been a massive buildout  
13 in manufacturing capacity, specifically in Europe, over  
14 the past few years. We're, you know, going to enter  
15 into a world where we're north of 10 gigawatts of  
16 electrolyzer manufacturing capacity this year. And  
17 we're still, you know, on a megawatt scale in terms of  
18 shipments.

19           So, we've talked to specific manufacturers in  
20 Europe that say, you know, this year, next year, they're  
21 only running their plants at 11 — 11 percent capacity.  
22 So, there's a bit of just like, getting scale and  
23 getting a better match between supply and demand. And  
24 there's also an aspect of scaling projects. You know,

1 we're going to go from — we're going to go from projects  
2 that are, you know, in the tens of megawatts to the  
3 hundreds of megawatts. We've already seen a 150  
4 megawatt project go forward in China. I know, you know,  
5 Plug Power has plenty of large-scale electro—  
6 electrolysis based projects going forward in the states.  
7 We see that in Australia and Europe as well. So, just  
8 the scale of the projects will help a lot as well.

9           Yeah, I think I'll leave it there for time.

10           VICE CHAIR GUNDA: Matthew, if you could also  
11 just comment on, you know, specifically for the  
12 electrolyzers. In terms of materials, you know, we are  
13 looking at supply chain issues all over, you know, kind  
14 of the industry, clean energy industry. So, I — what is  
15 — what is your kind of, current outlook on materials,  
16 supply chain, and you know, the confidence in the scale?

17           MR. BRAVANTE: Sure. Our view at BNEF, and  
18 this is a controversial and not-yet determined view in  
19 the industry. Most of the projects we track are  
20 alkaline based. I think about 80 percent of them. The  
21 largest exception, globally, is Plug Power, here in the  
22 states, and — that — that builds PEM electrolyzers.

23           But, the vast majority of the projects we see  
24 going forward, especially at larger scales, are

1 alkaline. And they have less issues with, you know,  
2 critical materials that I think you're referencing. So,  
3 in the near-term, we don't really see that as a — as a  
4 major issue. If — if PEM does, you know, make up a lot  
5 of ground, and — and get a substantial foothold in the  
6 — in the overall race to dominate the electrolyzer  
7 market, it could become a bit of a more — more of an  
8 issue. But in the near-term, we don't see that being —  
9 being a huge issue.

10           One — one last thing I'll make a comment of.  
11 It's been brought up a lot, this — this concept of water  
12 scarcity. And it's not necessarily related to minerals.  
13 But, if you look at, you know, the — a steam-methane  
14 reformer, and how much water it takes. Depending on the  
15 steam to carbon ratio you use, it's going to use about  
16 18 to 20 kilograms per kilogram of hydrogen. Compare  
17 that to the 10 kilograms of water per kilogram of  
18 electrolytic hydrogen. You're almost cutting the hy—  
19 water use in half by switching from a fossil-based  
20 pathway to an electrolytic based pathway.

21           So, when you're looking at decarbonizing  
22 industries that already use hydrogen, you're actually  
23 getting a net water saving. Which I feel like is a  
24 point that's not brought up very often. And there

1 obviously are concerns if you expand the footprint of  
2 hydrogen into other energy related sectors, then you  
3 need to compare that water use on an MMBQ basis, or some  
4 sort of energy basis to natural gas, oil, or whatever  
5 you're using. But, just in terms of the decarbonization  
6 problem we have right now, of decarbonizing industry  
7 that uses hydrogen, I think water is going to be less of  
8 an issue if you switch to an electrolytic pathway.

9 (Pause)

10 VICE CHAIR GUNDA: Thank you, Matt. I have so  
11 many questions for the panelists, but in an interest of  
12 time, you know, one quick question to you, Yuri, if you  
13 — if we have. And first of all, thank you for your  
14 presentation and — and highlighting the work that you're  
15 doing in engaging the communities ahead of time and  
16 thinking through, you know, your — your work.

17 So, from a planning standpoint, are y— is  
18 SoCalGas right now looking at, you know, we have the  
19 IRP, we have the, you know, gas planning side, how are  
20 you blending the hydrogen planning into it, and do you  
21 have any work reports that you could share with us after  
22 that would be helpful in framing how to think about  
23 planning for hydrogen?

24 MR. FREEDMAN: Thank you so much for those  
25 question, Vice Chair. And, I would say, again, within

1 the compliance of time, that we definitely are working  
2 on incorporating hydrogen to those proceedings. Angeles  
3 Link is only one of the prongs, if you will, of our  
4 effort. We believe that there is a role for new build  
5 projects, which we all know, take time. There's also a  
6 role for blending hydrogen, and are working on that as  
7 well. It was brought up earlier today.

8           And to that effect, we are actually working on  
9 incorporating the hydrogen as the element of analysis  
10 into the modeling into the IRP process into the IEPR.  
11 And we are definitely observing and very happy to see a  
12 tremendous shift, but, clearly more needs to be done to  
13 make sure that we are together designing this resilient  
14 and clean system. So, happy to provide more details.  
15 We have offline to give you more debrief on what we are  
16 specifically working on.

17           VICE CHAIR GUNDA: Thank you so much. I'll  
18 pass down to Commissioner Monahan.

19           COMMISSIONER MONAHAN: I wan— I wanted to  
20 start with Louis and Yuri. I'm wondering if you are  
21 seeing, I mean, the announcements that you have made, I  
22 mean, to me they were — they were quite striking in  
23 terms of their level of ambition and scope, vision. Are  
24 you seeing other utilities across the United States look  
25 at you for leadership and — and make similar

1 announcements?

2 (Pause)

3 MR. TING: I'll go, this is Louis Ting. I —  
4 I can go first. We have been talking to other large  
5 public power councils throughout the whole, you know,  
6 the — as far as public power goes. And — and there are  
7 some potentials, obviously, with the west — western  
8 states that are looking at hydrogen hubs and looking at  
9 the — how to connect the hubs together. And, I think  
10 that effort's going to continue.

11 (Pause)

12 MR. FREEDMAN: Perhaps, thank you, Louis.  
13 Just to add to that, first of all, I'd like to say that  
14 we clearly are as comminisher—Commissioner mentioned,  
15 in a leadership position to a very large degree because  
16 of LADWP's steps that they've taken. The first step was  
17 Intermountain, that put hydrogen power generation on the  
18 map not as a maybe, but as a real project. As evidenced  
19 by the recent launch from the DOE, which integrates  
20 that.

21 And now, they're looking at replicating this  
22 in the basin. Hydrogen power generation is now becoming  
23 a reality to a very large degree, and because of what's  
24 happening here in California. Other states are looking

1 at us, and we have multiple gas utilities reaching out  
2 to us to try and understand how we think about that.

3 I will also go back and say that we observe  
4 that other countries and continents are in some ways  
5 ahead of us in thinking about hydrogen, and we are  
6 tapping to them. It's driven, often times, by energy  
7 efficiency, like in Asia and Japan, it's driven also  
8 clearly by energy security in a very good way like in  
9 Europe. And — and it's also driven by places like  
10 Australia, which have opportunities not unlike ours,  
11 when I think about not just using hydrogen, but perhaps  
12 one day exporting that as renewables to the world. And  
13 so, we are actively collaborating with multiple  
14 utilities to ensure that we are going to be as efficient  
15 as we can in the — addressing these challenges.

16 (Pause)

17 COMMISSIONER MONAHAN: Thank you. And I see,  
18 Fritz, do you have a question? 'Cause — okay, go ahead.

19 MR. FOO: Hey, thanks for the presentations,  
20 everyone. I had a question for LADWP and SoCalGas.  
21 Really, on the idea of existing infrastructure as a way  
22 to mitigate costs, and you know, are there any, sort of,  
23 permitting challenges? So, the question for SoCalGas —  
24 you all had mentioned 50 percent of your potential build  
25 out will be using existing infrastructure. Do you see

1 permitting challenges on your end?

2           And then similarly, with LADWP, you know, do  
3 you have a sense of how much existing infrastructure you  
4 plan to use, and do you see permitting challenges for  
5 you all as well?

6           MR. FREEDMAN: Thank you. And first, I would  
7 probably like to clarify a little bit to the point that  
8 you made. I don't think I've said that 50 percent of  
9 our existing infrastructure can be used for the build-  
10 out. What I alluded to is the work which was done by  
11 our colleagues in Europe, where they designed continent-  
12 wide backbone, and their conclusion by their result of  
13 about result of about two years of work was that about  
14 60 percent, a little bit more that, of that backbone,  
15 can be built using repurposed gas pipelines. I would be  
16 happy to provide the materials that they have published  
17 with significantly more information.

18           We have this work ahead of us, and I think we  
19 need — needless to say, to work together with all the  
20 public agencies, because building infrastructure,  
21 whether it's repurposing or new, it's complicated. It's  
22 complicated technically, it's complicated from the  
23 permitting and regulatory standpoint. Especially in the  
24 context of the ambitious goals that we have in this  
25 state.

1           So, we all need to work together, and we — I  
2 often refer to the shared sense of urgency, which again,  
3 I observe our colleagues in Europe have today, and I  
4 think we have to match that, and that's how we're going  
5 to be successful. And I'm sorry, I don't think I've  
6 addressed the other part of your question.

7           MR. TING: Just to add to that. Thank you for  
8 the question, but as far as permitting and challenges  
9 and so forth, I want to frame it in a sense that, you  
10 know, every project for us is — we have to go through  
11 CEQA, right? So, that is a challenge itself.

12           But. However, we successfully have gone  
13 through CEQA processes, it's just a matter of time and  
14 engaging the right stakeholders and getting all the  
15 proper work together. However, you know, even though  
16 the whole hydrogen, not green hydrogen, but — maybe not  
17 green hydrogen, but the whole hydrogen industry is — is  
18 a very mature industry. But, at the scale for the  
19 utility, especially for power generation, it's — it's  
20 still very nascent and also developing technology.

21           So as far as permitting goes, there are two  
22 aspects, right? So, one — one is really with the public  
23 stakeholder outreach. The other one is getting  
24 technology down so that besides meeting the BACT

1 requirements, but also we gotta demonstrate that it is  
2 also safe, it is also doable, but also, that the  
3 workforce development and training for our employees, it  
4 needs to be really focused on — and besides no —  
5 besides the fact that that permitting, it will be a  
6 challenge, we believe. As far as our — within the in  
7 basins. In — in Los Angeles.

8 MR. Foo: Thanks for answering the question.

9 MR. ROTHLEDER: Hi, I think this question is  
10 for Louis. To what extent the existing generation,  
11 production equipment, can be reutilized or retrofitted,  
12 or would it have to be replaced from where it's — it's  
13 state now to support the hydrogen generation? And I  
14 guess I'm trying to — by the way, all these  
15 presentations are really, very, very informative, and I  
16 appreciate the information. But, I'm just trying to  
17 figure out from the RFI's that you received, how much  
18 retrofit replacement would you have to do to your  
19 existing generation equipment?

20 MR TING: That's a great question, Mark, thank  
21 you for that. And —and as far as existing equipment,  
22 there are some technologies that we have that the — the  
23 OEM has indicated that there's some high potentials of —  
24 of retrofitting the existing. So, it — it — the

1 analogy will be, kind of, re-gutting your —your  
2 automotive engine, and — and make it a completely  
3 renewable fuel vehicle.

4 Same thing with these type of gas turbines and  
5 some of the other turbines that we have — whether it's  
6 combined cycle, or — or simple cycle, they're all gas  
7 right now. But converting to — to hydrogen besides the  
8 OEM's, there are some other third parties that have  
9 already done, you know, hydrogen blending skids that are  
10 already being ins— put in service right now as we speak.

11 So, depending on the OEM's and at different  
12 levels of the maturity with hydrogen, some are more  
13 mature than others, we believe that there is a pathway  
14 to getting them retrofitted with the existing equipment.  
15 Obviously, you know, newer equipment that will be —  
16 probably be more favorable than the existing equipment,  
17 but at the end of the day, we're trying to be more  
18 efficient and — with our equipment that we have already.  
19 And that will be our preferred choices.

20 (Pause)

21 VICE CHAIR GUNDA: Thank you all.

22 (Pause)

23 Yes, just echoing there a little bit.

24 (Pause)

1           Okay, let's — okay that's good.     So, thank  
2 you, everyone for your presentations and also answering  
3 questions. This is more of a comment that I would like  
4 to just flag. You know, we had our gas transition OAIIP  
5 that was launched a few weeks ago, I know Jennifer  
6 Campagna and Davie Erne, who are kind of a — a  
7 leadership management role here on that work.

8           At the — there was a question around hydrogen  
9 and leakage as an important element to think through.  
10 And I just want to flag that, Yuri especially, you know,  
11 as your work furthers, would love information that you  
12 all find on, you know, both the issue and the  
13 opportunity for mitigation whether through, you know,  
14 design of transportation, or whether it's through other  
15 areas, you know, would be really helpful to — to kind of  
16 get talking about that, making sure we — we keep that as  
17 an issue that we have good answers for. As a — as a  
18 bri— big team.

19           So, with that, I don't have any other  
20 questions, Yuri, unless you want to quickly respond. If  
21 not, I'm gonna take it back to Heather.

22           Yuri, did you want to say anything or are you  
23 good? We'll follow up.

24           MR. FREEDMAN: Oh, I'm here with the follow

1 up, I think that the topic of leakage, Vice Chair, is  
2 very important and we see it rising in — in dialogue  
3 lately. We believe that there's a good data there to  
4 address that, and are new technology to address that.

5           Again, I think Louis referred to that. We are  
6 talking about using a very old and mature commodity in  
7 new ways. So, transporting of hydrogen is not new, we  
8 have to do it safely, reliably, and with minimum  
9 leakage, and we are fairly confident that this can be  
10 done, but we are doing work that effect. So, thank you  
11 for bringing this up.

12           VICE CHAIR GUNDA: Thank you so much. With  
13 that, I will pass it back to David, or Heather, for the  
14 Q&A.

15           MS. RAITT: Great, thanks. So, actually I'll  
16 pass it to Jennifer Campagna. I — we are short on time,  
17 but maybe we can take a question or two from the  
18 attendees. Thanks. Jennifer?

19           VICE CHAIR GUNDA: Heather, can I just request  
20 that we create five minutes for the Q&A?

21           MS. RAITT: Absolutely, yes.

22           VICE CHAIR GUNDA: Thanks

23           MS. RAITT: Thanks.

24           MS. CAMPAGNA: Great, thank you.

25           (Pause)

1           The first question I have is from Tim Saseen  
2 from Ballard, and this question is for Matt:

3           "We can switch all oil refining to zero-carbon  
4 hydrogen and move the hydrogen over to transportation."

5           Oh, sorry about the echo.

6           (Pause)

7           Sorry about that.

8           (Pause)

9           Okay, sorry about that. Let me start over  
10 here real quick:

11           "We can switch all oil refining to zero-  
12 carbon hydrogen then move the hydrogen over to  
13 transportation as oil use for transportation drops. The  
14 extra 66 percent of renewables is hardly surprising.  
15 Note that California will need greater than three times  
16 its present renewable energy production to finish the 50  
17 percent of present electrical grid demand and the extra  
18 renewables needed for 100 percent transportation  
19 decarbonization.

20           Did the NEF consider this, and how does the  
21 NEF see the economic tradeoff for not achieving 100  
22 percent decarbonization without hydrogen and the  
23 resulting climate externalities?"

24           And the second part is:

25           "Did the NEF make any projections for future

1 fuel-cell electric vehicle prices, or only today's?"

2 (Pause)

3 MR. BRAVANTE: Thank you for the question.

4 So, I guess to answer the last part, we did do some  
5 projections, and in the heavy-duty vehicle space, it  
6 really depends on the policy support given to hydrogen,  
7 and kind of what the learning curves do on the fuel-cell  
8 side of things. Unfortunately, I can't share that,  
9 because a lot of our work is behind a pay-wall.

10 But, to the — to the previous question, and I  
11 — yeah, I don't want my — my presentation to be  
12 misconstrued as, you know, we're — we're at all negative  
13 about the — the hydrogen economy. Really, the point I  
14 wanted to get across was that in the near-term, there  
15 are an increasing amount of demands on the clean-  
16 electricity resources that California will be able to  
17 build.

18 And, hydrogen is going to be one of many of  
19 those resources. And, there are certain applications  
20 where hydrogen can be used as a tool for  
21 decarbonization, in which there are no other great  
22 alternatives. And oil refining is one of those. It was  
23 not the only example I would have used, it was just the  
24 example we found quick and easy data on. But you can  
25 think about all the ammonia we use in the state to grow

1 food. And then you can think about newer sources of  
2 demand for hydrogen. I know a lot of folks talked about  
3 ports and, you know, maybe maritime fuel, things like  
4 that. Using it as a, you know, grid balancing mechanism  
5 over long hours, or even seasonal storage.

6           So, there are a ton of different options, and  
7 we think, in the long term, more and more of those will  
8 be, you know, unlocked or accessible. But, in the near  
9 term, I think it's important to consider what are we  
10 using the hydrogen for? And how is that — how is that  
11 advancing California's larger goal of getting to net-  
12 zero emissions when — taking into consideration all the  
13 other different aspects of that pie, mainly the  
14 electrification of certain segments.

15           (Pause)

16           MS. CAMPAGNA: Thank you. Sir, do we have  
17 time for one more? Okay. Matt, this question is also  
18 for you. It's from William Hazenberg:

19           "Hydrogen in the industry does have the  
20 greatest demand but wants to pay the least for it.  
21 While selling to said mobility," — I think it means  
22 maybe mobile — "it gives the highest economic price per  
23 kilogram, so it also needs less subsidy. How do you see  
24 this?"

25           (Pause)

1           MR. BRAVANTE: It's a great question, and, you  
2 know, I've actually spoken to tons of folks in industry  
3 and asked them where they think demand will actually  
4 occur first, and a lot of folks say the power industry.  
5 The reason folks say the power industry, at least when  
6 I'm talking to them, is that the economics, and — and in  
7 California you could make an analogous argument for the  
8 transportation industry, but the power market in the US  
9 is broadly the only place that rewards lower carbon  
10 generation through — through various, you know, state-  
11 wide renewable target goals, or, renewable portfolio  
12 goals.

13           So, those are places where you are going to  
14 get rewarded, and those are places where the economics  
15 are likely to pencil out. But, in the context of what  
16 we're talking about here today, and helping California  
17 create policy that achieves decarbonization, I think it  
18 was all the more important to — to identify areas where  
19 decarbonization is needed, but the economics might not  
20 pencil out.

21           I will say that, aside from the transport  
22 sector, the — because you're comparing to a diesel fuel,  
23 but when you're comparing to natural gas for, you know,  
24 power gen, or for heating or anything, the economics for  
25 ammonia, oil refining, where you're actually using it as

1 a molecule rather than — or a chemical agent rather than  
2 an energy molecule, the economics are better, because  
3 you just need to compete with the cheapest source of  
4 hydrogen. You don't need to compete with the cheapest  
5 source of energy.

6 But yeah, in the — on the — on the transport  
7 side, especially in California when you think about  
8 things like the LCFS, I mean there is a substantial  
9 economic benefit to using hydrogen within the  
10 transportation system. The point, or the question I was  
11 trying to raise is, as we start to develop a hydrogen  
12 economy with the goal to decarbonize California's entire  
13 energy system, what kind of policy should we design to  
14 help us get it there?

15 And, you know, in the next ten years, we  
16 project that costs are going to fall quite dramatically.  
17 So, hopefully, you know, this near-term economic sting  
18 will be less of an issue. But the question is, like,  
19 how do we get there, and what — what sectors do we want  
20 to incentivize with policy tools to help decarbonize  
21 California?

22 (Pause)

23 MS. CAMPAGNA: Okay great, thank you. I think  
24 at this time, we are — oh, okay. We have a question  
25 from the audience. Please introduce yourself.

1           MR. AHEARN: Hi. My name's Paul Ahearn, I'm  
2 with a company and manufacturer in Michigan, called  
3 Sesame Solar. And this last week, we just launched the  
4 world's first mobile — think of a trailer — with a  
5 deployable solar array on top. And, we create our own  
6 hydrogen fuel-cell on board. So, out of water, you  
7 actually have on the trailer, you know, with one button  
8 — you know push of a button, with electrolyzer, we  
9 actually create that gas.

10           And so, I just wanted to say that — and the  
11 reason I'm bringing this up is because as you're  
12 thinking about, you know, these incentives are coming  
13 from — from above, from the government, and how to  
14 allocate that, and then invite the participants who  
15 might be able to, sort of, help with some of this  
16 changing, or bringing up new products, just wanted to  
17 have you think about the smaller aspects of where it  
18 could be used.

19           So, think of towables, maybe add that into the  
20 definition of what an electric vehicle is. And, you  
21 know, we can — we can certainly address a lot of the  
22 socio-economic issues with our product. Our product is  
23 originally designed for disaster relief. So, placing  
24 one of these mobile offices, a mobile medical clinic, in

1 an austere environment, where there's not a lot of  
2 resources.

3           And instead of using diesel fuel as a backup  
4 when solar is not available, we, right now, alive today,  
5 and I was just in Rocklin testing it out again, we right  
6 now have that ability to do that as I speak. So, I just  
7 wanted to share that with you, and thank you very much  
8 for giving me a moment to chat about that.

9           (Pause)

10           MS. RAITT: Okay, thank you. So, if it's  
11 okay, Commissioners, we'll move on to public comment  
12 period. So, thank you, Jennifer, for that, and sorry we  
13 couldn't get to all of the comments, all the questions  
14 that were raised, so we got some good ones.

15           So, let's see. So, it's — so we will be  
16 taking public comment now, and we request one person per  
17 organization may comment, and the comments will be  
18 limited to three minutes per speaker. If we had — if we  
19 end up having several speak — several people wanting to  
20 comment, we may have to limit that to 1.5 minutes per  
21 speaker.

22           We'll start with those in the audience, I  
23 don't see any blue cards — but if anyone in the audience  
24 wanted to comment, let me know. Otherwise, we'll move  
25 on to those who are attending remotely, and use the

1 raise-hand feature to let us know you'd like to make a  
2 comment, or you can press star-nine if you're on the  
3 phone, and that will let us know you'd like to make a  
4 comment.

5           So, we will open your line, and — and then  
6 you'll — so let's see. So, we have, um, I am not going  
7 to be able to pronounce your name. Salim Rahemtulla?  
8 Go ahead, we will, uh—

9           MR. RAHEMTULLA: Great job, thank you. Yes,  
10 Salim Rahemtulla, PowerTap Hydrogen Fueling Corporation.  
11 I wanted to just comment briefly on the fact that it  
12 appeared that with all the discussion and presentations  
13 on green hydrogen, there was lack of inclusion of waste  
14 to hydrogen, where there are several technologies  
15 available that can produce hydrogen using these  
16 renewable sort of resources. Not solar and wind and  
17 water. And I wanted to make sure that that was captured  
18 in definitions of green energy. That's my comment.

19           MS. RAITT: Thank you. Next, we will go to  
20 Mikhael, or Mik Skvarla. Excuse my mispronunciation.  
21 Go ahead and unmute your line.

22           MR. SKVARLA: Hi, Michael Skvarla. Appreciate  
23 that with Salim and I, the difficulty pronouncing the  
24 names.

25           Thanks for having this workshop, I appreciate

1 the opportunity. I'm here on behalf of California  
2 Hydrogen Coalition. And while we appreciate the CEC's  
3 commitment to 200 stations, want to bring light to the  
4 proposed plan within the Scoping Plan, which indicates,  
5 you know, needs of upwards of 3,000 stations statewide  
6 between the light, medium, and heavy-duty markets to  
7 achieve our carbon neutrality goals.

8 We also want to indicate that the ambition for  
9 that, and the scoping plan, will, you know, be discussed  
10 over the next several months, and we'll be filing  
11 comments there with regard to infrastructure needs and —  
12 and I'm sure that we — we'll — we supply those, uh,  
13 that information to the CEC and into this IEPR docket.

14 Further, with regard to the conversation of —  
15 of carbon intensity versus the color wheel. I think  
16 most folks in the industry agree that the carbon  
17 intensity is the best way to go. The Federal Bipartisan  
18 Infrastructure Legislation had a definition of clean  
19 hydrogen which includes feedstocks, some of which may  
20 not be allowable here in California, based on our goals.

21 However, the use of that definition does have  
22 an overlay of a two kilograms per — two kilograms of CO<sub>2</sub>  
23 per kilogram of hydrogen. That's roughly equivalent to  
24 CI and (INDISCERNIBLE) of about 15 or 16. The grid  
25 averages right around 80 today. And so, we have a 5x

1 reduction in emissions from clean hydrogen versus the  
2 grid. And I think that's a good way to go. We should  
3 probably look into a phased in standard over time, as we  
4 have with the RPS, to allow existing assets to  
5 transition. A combination of feedstock and carbon  
6 intensity is probably the highest road to take with  
7 regard to looking at standards. And there is a need for  
8 a statewide standard, having disparate definitions  
9 across the CPUC, CEC and ARB is not the best way to  
10 drive investment.

11           And then lastly, the Hubs present an  
12 incredible opportunity for California. We have a lot of  
13 end-use off takers, and different production pathways.  
14 Also, within the scoping plan, the transportation sector  
15 is mainly sourced from biomass and biogas, while we see  
16 the electric sector being served through electrolytic  
17 hydrogen based on those modeling results.

18           Obviously, models are restrictive and don't  
19 paint the whole picture of the economic outcomes, but it  
20 does indicate that we can mitigate emissions from  
21 methane, and — and the excess biomass from ag and — and  
22 our forests. You know, in a high value commodity like  
23 me— like hydrogen, and the transportation sector, again  
24 across all vehicle weight classes because there will be  
25 needs.

1           Further, we will be submitting some comments  
2 with regards to some of the fear, uncertainty, and doubt  
3 that we've heard. I'd love some comments with regard to  
4 water consumption. It's not as big of a deal as I think  
5 folks are trying to make it out to be, especially  
6 compared to the existing energy systems that we have,  
7 with regard to refineries and — and fossil fuel.

8           So, thank you.

9           (Pause)

10           MS. RAITT: Thank you. So, next is DJ Taylor.  
11 Go ahead and unmute.

12           (Pause)

13           MR. TAYLOR: Have you got me now? Okay good.  
14 Yeah, this is Donald Taylor, with Taylor Energy. We're  
15 primarily biomass to hydrogen people. So, I feel like  
16 this group has been really oriented towards the  
17 electrolyzer technology, which I like a lot and that's  
18 essentially opening up and driving this market.

19           But, maybe under a — a separate — some kind  
20 of a separate group, we need to talk more specifically  
21 about, for example, you know somebody mentioned waste to  
22 hydrogen, and you know, biomass to hydrogen, which early  
23 on, are bound to be the low-cost sources of hydrogen.  
24 They're not going to satisfy the whole market,  
25 obviously, but early on, if you look at the numbers for

1 hydrogen produced from natural gas, in reality, it's not  
2 much different from biomass. There's some difficulties  
3 and so on. But, the ultimate cost is nearly the same.

4           So I — in some ways, I feel like relying on  
5 the electrolyzer model, for example I had asked the  
6 question, well it's 40 percent utilization of that  
7 technology, is that a realistic number? And I don't  
8 think it is. I think if you're lucky to get 25 percent  
9 using the renewable low-cost power, maybe I'm wrong on  
10 that.

11           But, I just think we, you know, at a certain  
12 point we need to focus as we move into this, on the  
13 economics, very clearly. We're aggressive on the  
14 economics, trying to pursue that two dollar, and then a  
15 dollar a kilogram goal. But, I just think we need to be  
16 watching the economics carefully. And not this — not —  
17 make sure that biomass guys get included into this is my  
18 comment. And that's all I really have. Thank you.

19           MS. RAITT: Thank you for that. Next, is Sara  
20 Fitzsimon. Go ahead, Sara.

21           MS. FITZSIMON: Hi.

22           (Pause)

23           VICE CHAIR GUNDA: Sara, we can't hear you. I  
24 think you muted and unmuted.

25           MS. FITZSIMON: Okay. Are we good?

1 VICE CHAIR GUNDA: We can hear you now.

2 MS. FITZSIMON: Thank you.

3 VICE CHAIR GUNDA: Yup.

4 MS. FITZSIMON: Hi, Sara Fitzsimon from the  
5 California Hydrogen Business Council. I'm calling to  
6 comment — well, I'd like to second the comments of Salim  
7 Rahemtulla from PowerTap, as well as Mik's comments from  
8 the CHC. I would like to add in addition, and I didn't  
9 hear the entirety of the questions from Matt on his  
10 presentation, but I would like to add that the heavy-  
11 duty fuel-cell electric vehicle trucking space is  
12 already being piloted and successfully on the road.

13 To claim that hydrogen fuel-cell trucks will  
14 be overpowered by battery, or at least the technologies  
15 will outweigh one or the other, it's just too early to  
16 call that. And, I think it really does get in the way  
17 of developing good policy that's sustainable and will  
18 help us meet our goals sooner.

19 So, I would just like to note that fuel-cell  
20 electric trucks are on the road, they're a wonderful  
21 resource in meeting our transportation needs and  
22 decarbonizing California's transportation space as well  
23 as eliminating a lot of NOX emissions and other black  
24 carbons that come from diesel fueled trucks that are on  
25 the road currently. So, if we can start including fuel-

1 cell electric trucks in our calculation of heavy-duty  
2 transportation space, I think that would best serve our  
3 policies. They are long-range, they don't change their  
4 performance based off of weather, they have very quick  
5 refueling time, and they're — they're much more function  
6 — they serve the functionality of duty cycles and goods  
7 movement far better than battery-electric vehicles do at  
8 this point.

9           And so, to choose one technology over another,  
10 we just ask as representatives of the hydrogen space and  
11 the OEM's, that we start talking about both technologies  
12 equally, providing equal opportunities to both  
13 technologies, because so many consumers in California  
14 would like to have the option, and not be limited to one  
15 technology over another due to policies. So, I do ask  
16 that that is emphasized in the planning and in the  
17 coordination among agencies going forward. Thank you  
18 for your time.

19           (Pause)

20           MS. RAITT: Thank you. So next is Maia Leroy.  
21 Go ahead. Could you —

22           (Pause)

23           Go ahead and unmute on your end, Maia.

24           MS. LEROY: Can you hear me now?

25           MS. RAITT: Yes.

1 MS. LEROY: Okay, thank you. Hydrogen offers  
2 an opportunity to green up the hard to decarbonize  
3 sectors in the future. And today, it's already  
4 presenting itself as a widely used resource in the  
5 manufacturing industry that requires decarbonization in  
6 its own production.

7 Roughly 95 percent of all hydrogen produced  
8 today is done so with fossil fuels. And so, with  
9 decarbonization as the goal, we need to focus on the  
10 transition to producing all hydrogen via green  
11 electrolyzers to clean up the industries still relying  
12 on this polluting grey-hydrogen.

13 And then, once we've done that, then we can  
14 focus on utilizing that hydrogen on a more wide-spread  
15 scale. And when we do so, we need to ensure that it's  
16 in safe and clean applications. This would mean keeping  
17 the production site local to the site of consumption to  
18 mitigate possible transportation hazards like leakage.

19 And so, this might look like something, you  
20 know, like putting electrolyzers at a heavy-duty vehicle  
21 refueling stations, rather than trucking it in from  
22 another outside production site. And so, that concludes  
23 my comment, I just wanted to focus on those — those  
24 safety precautions as well as, you know, where we can  
25 decarbonize initially near-term, versus what's

1 acceptable for the long-term. Thank you.

2 (Pause)

3 MS. RAITT: Great, thank you. I don't see any  
4 more hands raised, so, I think that concludes public  
5 comment. If you wanted — oh, I'm sorry. We do have one  
6 last hand raised, and then — So, apprenticeship  
7 coordinator, go ahead.

8 MR. LUCERO: Hello, everybody, my name is  
9 Dominic Lucero, L-U-C-E-R-O. I am the executive board  
10 member and committee chair for the New Endeavors  
11 Research and Development Committee, also known as NERD,  
12 representing the international brotherhood of  
13 Boilermakers.

14 This has been absolutely fantastic. There is  
15 one thing that is missing from these plans, and it's  
16 specific skilled and trained and language written into  
17 the framework of this transition for a just and  
18 equitable transition of the labor organizations that  
19 have been building California's infrastructure through  
20 the state's entire history. Many of these members also  
21 live in disadvantaged communities, and these labor  
22 organizations offer higher education through  
23 apprenticeship programs with no college debt.

24 We have to be certain that private companies  
25 do not hire low-skilled workers to build the hydrogen

1 infrastructure with no long-term future. The future  
2 relies on highly skilled workers with a proven safety  
3 record. We highly support the transition, but we also  
4 have to be included. Thank you.

5 (Pause)

6 MS. RAITT: Great, any — I'll give one moment  
7 for raised hands.

8 (Pause)

9 I don't see any more raised hands, so I think  
10 we are going to conclude public comment here. And,  
11 Commissioner, if you wanted to make any quick remarks?

12 VICE CHAIR GUNDA: Yeah, thank you, Heather,  
13 for making sure we had all the Q&A, and the comments.  
14 So, I just want to acknowledge all in the room, for your  
15 comments. Salim, Mik, Donald, Sara, Maia, and Dominic.  
16 And, I think there's a — a couple of pieces that you all  
17 raised that I would love to get in the docket as written  
18 comments would be really helpful. Both on the end-  
19 users, but also the opportunity for the biogas — or the  
20 bio side of it to hydrogen and the overall negative  
21 carbon opportunity in generating the hydrogen.

22 So, would love to hear comments on that, but  
23 also Paul, to your comments, and Dominic's, had a chance  
24 to talk to a professor at, you know, Sac State LA, and  
25 about the importance of funding small fuel-cell/hydrogen

1 projects that could both be used for small level  
2 fueling, but also an opportunity for workforce training,  
3 and really the need for, you know, more programs that  
4 allow for good training, but also, you know, just jobs.  
5 So, thank you for your comments and everybody else's.

6           So — so, it's a — thank you, Ben. It's Cal  
7 State Long Beach, not Cal State LA. So, thank — thank  
8 you so much.

9           So, with that, I — any other comments from the  
10 dais? Okay, so we will split for the morning, thank you  
11 all to the panelists, we will come back at 1:30.  
12 Looking forward to the afternoon session. Wonderful  
13 discussion, thanks.

14           (Meeting off the record at 12:37 P.M.)

15

16

17

18

19

20

21

22

23

24


25

**REPORTER' S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 17th day of August, 2022.



---

PETER PETTY  
CER\*\*D-493  
Notary Public

**TRANSCRIBER'S CERTIFICATE**

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 17th day of August, 2022.



Myra Severtson  
Certified Transcriber  
AAERT No. CET\*\*D-852