

DOCKETED	
Docket Number:	21-ESR-01
Project Title:	Energy System Reliability
TN #:	247344
Document Title:	Transcript on 10-28-22 Lead Commissioner Workshop on Clean Energy Alternatives for Reliability - Session 2
Description:	Transcript - 10-28-22 Lead Commissioner Workshop on Clean Energy Alternatives for Reliability - Session 2 of 2
Filer:	Jann Mitchell
Organization:	California Energy Commission
Submitter Role:	Commission Staff
Submission Date:	11/9/2022 12:58:07 PM
Docketed Date:	11/9/2022

STATE OF CALIFORNIA
CALIFORNIA ENERGY COMMISSION

In the matter of:

Clean Energy System Reliability) Docket No. 21-ESR-01
_____)

LEAD COMMISSIONER WORKSHOP ON CLEAN ENERGY
ALTERNATIVES FOR RELIABILITY
SESSION 2

IN PERSON AND REMOTE VIA ZOOM VIRTUAL MEETING

Warren-Alquist State Energy
Rosenfeld Hearing Room (Hearing Room A)
1516 9th Street,
Sacramento, CA 95814
(Wheelchair Accessible)

FRIDAY, OCTOBER 28, 2022

1:30 P.M.

Reported by:

Martha Nelson

APPEARANCESCEC Commissioners Present

Siva Gunda, Vice Chair, CEC

Patty Monahan, Commissioner, CEC

Andrew McAllister, Commissioner, CEC

CEC Staff

David Erne, Deputy Director, Energy Assessments Division,
CEC

Deana Carrillo, Director, Renewable Energy Division

Chie Hong Yee Yang, CEC

Brian Samuelson, CEC

Erik Lyon, CEC

California Public Utilities Commission (CPUC)

Darcie Houck, Commissioner

Pete Skala, Director Electricity Supply, Planning, and
Cost

Public Comment

Kurt Johnson, Climate Center

Tod O'Connor

Michael Day

Julia Levin, Bioenergy Association of California

Bert Wank, InfinRel

APPEARANCESPublic Comment

Robert Perry

Brian Hebner, California Solar & Storage Association

Kate Unger, California Solar & Storage Association

Ben Schwartz, Clean Coalition

Dan See

Ryan Pickering

Anne Hoskins, Generac Energy Technology

Dylan McAuliffe, Solar Landscape

Allie Detrio, Microgrid Resources Association

Nick Theisen, Turning Point Energy

Tim Smythe

Heather Hoff, Mothers for Nuclear

Madeline Symm, Cypress Creek Renewables

Hannah Argento McCurdy, Arcadia Power

Derek Chernow, Coalition for Community Solar Access

Rachel Bird, ForeFront Power

Marc Costa, Energy Coalition

Jeff Burke, Bright Canyon Energy

Serg Berelson, Mainspring Energy

Joe Henri, Dimension Renewable Energy

INDEX		<u>PAGE</u>
Introduction		5
	David Erne, Deputy Director, Energy Assessments Division, California Energy Commission (CEC)	
Comments from the Dais		6
	Siva Gunda, Vice Chair, CEC Patty Monahan, Commissioner, CEC Darcie Houck, Commissioner, CPUC	
Clean Energy Options Evaluation Approach		8
	David Erne, CEC	
Q&A		29
	Chie Hong Yee Yang, CEC	
Distributed Electricity Backup Asset		65
	Deana Carrillo, Director, Renewable Energy Division, CEC	
Q&A		85
	Chie Hong Yee Yang, CEC	
Public Comments		86
	Brian Samuelson, CEC	
Closing Remarks		128
Adjournment		130

1 an opportunity with all the questions you're going to see
2 this afternoon from us, and maybe some more, going into the
3 RFI and looking for your feedback in response to that RFI
4 to give us information that we can utilize in our analysis
5 across many different requirements.

6 So that's kind of the purpose of the afternoon.

7 Let me remind everyone that we are recording on
8 Zoom. We're using the Q&A function on Zoom when we get to
9 the Q&A portion. We will start with Q&A in the room and
10 then go to Q&A on Zoom. We are also going to be using the
11 raise-hand feature for the comment period in the afternoon.
12 We'll have a comment period right before the end of the
13 day.

14 And we have docketed the schedule, the
15 presentation, and we will docket the recording for this
16 event, as well, when it's captured. So all of that will be
17 in our docket and available. That is our 21-ESR-01 docket
18 for -- and that's on the schedule for the event.

19 So at that point, I think that covers all the
20 administrative topics for this morning.

21 So I want to turn it over to Vice Chair, who is
22 the Lead Commissioner for this workshop, for dais comments.

23 VICE CHAIR GUNDA: Thank you, David.

24 I just want to thank, again, everybody who's in
25 attendance. And I look forward to the continued discussion

1 again.

2 I want to thank David and the CEC and CPUC and
3 DWR teams for their presentations this morning.

4 Just reiterating what David just said, so I think
5 we went through a very dense set of material this morning.
6 And based on the Q&A, and some of the comments we heard,
7 you know, all this information is on record. The
8 presentations will be available, the transcript will be
9 available for those who want to like dig into that again.

10 But also, given the number of requirements
11 doesn't mean we have to do different types of work. They
12 all boil down to three or four core activities, including
13 improving on analysis and situational awareness, just
14 thinking about what are the different options on the table,
15 you know, alternatives, you know, like some of the options,
16 like Diablo, you know? That was just something we were
17 asked to look into, but also options that were not
18 adequately scaling yet.

19 So that's something we want to discuss, look at
20 the barriers of those options to be scaled and, finally,
21 all culminate into a recommendation, whether it be policy,
22 investments, and such. So I think those are the buckets of
23 work we will do, no matter what we're doing.

24 So I look forward to the session. We have
25 Commissioner Houck on the dais here, and we have

1 Commissioner Monahan joining us via Zoom. And I want to
2 look at them, if they have any comments, before we pass it
3 back to David.

4 COMMISSIONER HOUCK: Just briefly, just to
5 reiterate, thank you for everyone that presented this
6 morning. It is a lot of information. And I really
7 appreciate this opportunity to hear from Staff the work
8 that they're doing and the coordination that's going on
9 between the different agencies. So just wanted to thank
10 everyone.

11 And again, as I said this morning, very much
12 looking forward to this afternoon's discussion and talking
13 more about the role of distributed energy resources and our
14 reliability, both.

15 VICE CHAIR GUNDA: Thank you, Commissioner Houck.
16 Commissioner Monahan, did you have anything that
17 you wanted to add?

18 COMMISSIONER MONAHAN: I'm just really looking
19 forward to the discussion. I think we -- our appetites got
20 whetted by the morning and so now we're ready to the main
21 course. So, yes, looking forward to it.

22 VICE CHAIR GUNDA: Thank you.
23 David, back to you.

24 MR. ERNE: Thank you, dais.

25 So if we can go forward two slides?

1 I want to reiterate what we're going to cover
2 this afternoon. So we're going to kind of make the clean
3 energy options evaluation a little bit dynamic in the fact
4 that I'll present portions of what we're going to be doing,
5 solicit Q&A, next section Q&A.

6 And what this slide does not show as a mistake,
7 but it's in the schedule, is we do have an overview of the
8 Distributed Electricity Backup Assets Program (DEBA)
9 between 3:00 and 3:30. So you can shift everything from
10 where it says "Public comments" out a half-an-hour. And
11 Deana Carrillo will be here -- or will be online to provide
12 an overview of the DEBA Program and ask some questions that
13 she wants to incorporate and get feedback on as part of our
14 RFI.

15 So that's what the afternoon session looks like.
16 Next slide. I think we skipped a slide. Thank
17 you.

18 So energy transition is really what we're talking
19 about more broadly. And clearly, as part of our energy
20 transition, we want to make sure that we have a safe,
21 reliable, clean, resilient, equitable and affordable writ
22 (phonetic); right? So many, many factors that we want to
23 be considering. We want to consider those all throughout
24 all of our analyses.

25 And to a point that Commissioner Monahan made

1 this morning about equity, you know, it's an important part
2 of everything that we're thinking about and wanting to make
3 sure that we look at opportunities to address equity in
4 every program that we are focusing on within CEC.

5 There are many, many legislative requirements. I
6 think at the top, we have SB 100, which is our goal for
7 2045, and now earlier, to meet those requirements, and
8 that's overarching, as well as 846, and all the other ones
9 that we mentioned this afternoon. The commonality of all
10 of these is to be thinking about a suite of clean energy
11 technologies that can support all of these goals and all of
12 these objectives.

13 And the analysis that we're going to be pursuing
14 within the CEC is meant to address all the legislative
15 requirements that you see on this slide. They all have an
16 element that's looking at clean energy technologies and
17 their application between now and 2045 with differing
18 requirements for each of those programs, so there's
19 slightly different boundaries for each of those programs
20 that were established. And so we're going to be looking at
21 trying to evaluate all technologies and then trying to, I
22 guess, down-select or put boundaries around those that are
23 for particular programs, and we'll get into that in just a
24 little bit.

25 We can go to the next slide.

1 Alright, so we have a lot in front of us, a lot
2 of requirements the CEC is focusing on.

3 First, we need to improve our frameworks and
4 analytics. It's really important for our goal to meet our
5 energy transition that we have good frameworks within the
6 state of how we think about reliability, as well as the
7 analytics to be able to evaluate reliability and plan for
8 reliability.

9 You can click one more ahead.

10 We have a number of questions that we need to
11 answer associated with that.

12 We need to incorporate climate change. We talked
13 this morning about the need to think about climate change
14 in our planning and in our forecasts and how we think about
15 it in all of our operations moving forward and be better
16 and better about incorporating that in all that we do.
17 We're not there yet but we need to make a path towards
18 that.

19 We need to do things like reassess the planning
20 reserve margin, that was mentioned this morning, and
21 thinking about that for the state.

22 Make sure that all of our load-serving entities
23 have the sufficient resources in their Resource Adequacy
24 Programs to support reliability.

25 And generally rethink our assumptions, back to

1 climate change as an example, and thinking about how we can
2 continually make our analytics better.

3 The next one is identifying technologies and
4 approaches. That's part of what we're going to be talking
5 about today. We need to identify the best suite of
6 technologies that can provide the state the value that it
7 needs to meet our goals. That happens broadly and is a
8 main function of the Clean Energy Reliability Investment
9 Plan. But we also need to evaluate clean energy
10 technologies and portfolios of them to be able to be
11 evaluate them as effective options to extending Diablo
12 Canyon, so there a number of factors we need to be
13 considering here, those two, specifically, from 846, but
14 they were like they relate to others.

15 Next one.

16 We're also being asked to identify barriers and
17 identify solutions, make recommendations for overcoming
18 those barriers for the implementation of those clean energy
19 technologies. So what are the barriers by each technology?
20 And what kind of approaches could overcome those? How do
21 we overcome the supply chain interconnection permitting
22 barriers we've identified before for clean energy
23 technologies? All of those are things that we want to be
24 addressing.

25 And last, recommending strategies. As I

1 mentioned, there are multiple reports that request the CEC
2 to identify and recommend planning and policy
3 recommendations for the Governor's Office and legislature.
4 And that's what's going to be incorporated in that last
5 portion.

6 Next slide.

7 As was shown this morning, this is the same
8 diagram that Lisa showed in terms of the number of
9 requirements, the specific requirements, bucketed by
10 reliability, Diablo Canyon, and clean energy. There was a
11 fourth area here, which is workshops. There are a number
12 of requirements within the legislation for us to conduct
13 our analysis with public input. And there's a desire for
14 us to have public input on a variety of our projects,
15 whether they are specifically required or not.

16 So we're going to have a number of workshops.
17 We're going to try to work very hard to consolidate
18 workshops. We know that it's a burden for the public to be
19 participating in every workshop. But we want to make sure
20 that we are vetting our content and getting feedback from
21 the public as much as possible. So we may not have as many
22 as are shown here but we're -- because we're going to try
23 to consolidate, but we may have a number of workshops.
24 And, where we can, we're going to try to make sure that
25 they're aligned and we cover as many similar topics as we

1 can related to all these legislative requirements into
2 individual workshops.

3 So as you can see, there's a fair amount of work
4 to happen between now and next December.

5 Next slide. Keep going. You can go all the way
6 through.

7 So this is basically what I discussed before, but
8 showing that this afternoon, we're going to focus on these
9 two middle boxes, and that is looking for input on the
10 clean energy technologies that we should be evaluating, and
11 input on the ways to identify parameters of those
12 technologies that can either be barriers or solutions.

13 Next slide.

14 As I mentioned, the work that we're embarking
15 upon affects multiple deliverables that CEC has. Under
16 846, as we mentioned before, we have the Clean Energy
17 Reliability Investment Plan. We have the comparison to
18 Diablo Canyon extension, so looking at clean energy
19 alternatives to Diablo extension, both of those products
20 due next year, as well as our load shift goal that has to
21 be developed by next July. We also have our Reliability
22 Report in January, which will have some discussion of clean
23 energy alternatives and barriers to implementing those.

24 SB 423, which was actually from 2020 legislation
25 in 2021, requires us to develop a report of clean, firm

1 energy resources, and provide that report in the IEPR or
2 separately by December of 2023, so this analysis will
3 inform that.

4 And, of course, the analysis that we do will be
5 important for improving our SB 100 analysis. So we
6 produced our report in early 2021. We have another one due
7 in 2025. In that process, we want to be expanding our
8 portfolios of resources that we look at and evaluate for
9 not only their ability to meet the SB 100 goals, but also
10 their ability to provide reliability.

11 So the afternoon's discussion is meant to provide
12 a framework that will inform all of these requirements, not
13 just in any individual one.

14 Saying that, I'll go to the next slide,
15 recognizing that each of the requirements has, from the
16 legislature, has a certain set of boundaries around those
17 programs that we will need to consider as we move forward.
18 So if you think of this broad suite of technologies that
19 we're going to be evaluating, some of them will be
20 appropriate for DEBA, some will be appropriate for the
21 Clean Energy Investment Plan. For example, DEBA is really
22 meant to focus on emergency reduction, emergency load
23 reduction, but also to provide some peak reduction or net-
24 peak reduction, whereas the Clean Energy Reliability
25 Investment Plan is not intended for emergency, but

1 certainly is intended for permanent load reduction and peak
2 reduction.

3 So some of the technologies that we evaluated in
4 this broad suite will be applicable to DEBA, some will be
5 applicable to the Clean Energy Reliability Investment Plan.
6 And we'll have to take that into account as we're going
7 through the analysis.

8 Next slide.

9 So for the purposes of going through this
10 analysis, what we want to do is try to identify all of the
11 options that we should be evaluating, so a whole suite
12 Of -- a menu of clean energy technologies we should be
13 evaluating, and then a set of attributes that we want to
14 evaluate for each of those technologies so we can
15 adequately compare them. Some of those will be
16 qualitative, some of them will be quantitative, and we're
17 going to talk through our preliminary thinking on that
18 afternoon. We want to organize this as a matrix so that we
19 can more effectively evaluate these technologies against
20 each other and for their individual purposes.

21 Next slide.

22 We've created two primary categories, supply and
23 demand. And I'll get into individual technologies in the
24 next slide. But we have certain categories that we've
25 created, which is a rough way of accumulating different

1 technologies, recognizing that there's not one set of
2 parameters or one set of categories that is perfect. So
3 for example, distributed energy resources can be a supply,
4 they can be a demand, they could fit under both. You'll
5 see in a minute kind of how we separated them out but they
6 can be considered for both purposes.

7 For the purposes of discussion today, we consider
8 those as being both supply and demand, but we just put them
9 in, and you'll see in a minute how we align them.

10 There are other resources, like gas resources,
11 that we might consider for purposes, for example, of
12 alternatives to Diablo Canyon. But we wouldn't be
13 considering them for purposes of a fossil gas for purposes
14 of the Clean Energy Investment Plan. So again, what we're
15 going to be laying out is a broad suite of technologies.

16 Next slide.

17 So here's our preliminary list. It's a little
18 bit of an eye chart, sorry for that, but it lays out a
19 large set of technologies that we want to take a look at,
20 characterize, and be able to compare for the purposes of
21 these analyses.

22 So under the supply option, we have a list of DER
23 that could be both supply or demand-type resources. We
24 have a suite of renewables, mostly small scale, but we do
25 include utility-scale, again, for the purposes of maybe

1 comparison to Diablo Canyon, but maybe not for the Clean
2 Energy Investment Plan, different types of storage,
3 different types of gas-fired generation, and other, which
4 includes, not necessarily -- it could be technology in the
5 case of microgrids, like controls and switching, but may
6 also include things like purchasing imports, again,
7 potentially as an option for Diablo Canyon as opposed to
8 the Clean Energy Investment Plan.

9 On the demand side, we have more of a list of
10 typical demand options, vehicles-to-grid, vehicle-managed
11 charging, different types of controls for equipment, as
12 well as thermal energy storage, energy efficiency. And
13 then at the bottom we have mechanisms. We could think of
14 different approaches for demand response and demand flexes,
15 as well, time-varying rates. So a number of not just
16 technologies but approaches that could be applied.

17 And what we're going to be looking for in our RFI
18 is recommendations for technologies that we should be
19 adding to it. Do we have the right categories, different
20 categories, different list of options, that we should be
21 considering this full complement of what we are evaluating?

22 We can go the -- I'll come back to this in just a
23 second, so go to the next slide.

24 And the next slide identifies some of our
25 preliminary questions that you'll see in the RFI. Do you

1 agree or disagree with our distinction between supply and
2 demand options, different categories or ways we should
3 categorize it? How about our resource options? Do we have
4 the full complement of research options? Should we be
5 slicing and dicing them a different way for our analysis?
6 That's preliminarily what we are trying to get forward in
7 the RFI, which will be out next week, and we're looking for
8 feedback on that.

9 What I want to do right now is I'm going to
10 pause. I'll actually ask to go back one slide. And then
11 with those, that kind of our questions to the public, I'm
12 going to pause here and see if there are questions from the
13 dais on or comments from the dais on our categories or
14 preliminary list of options and see whether there's
15 feedback there. And then from there, we'll look for
16 questions from the public.

17 So Vice Chair, any questions from the dais on how
18 we're thinking about this right now?

19 VICE CHAIR GUNDA: Yeah. So I think, David,
20 first, a clarification. I think when you say technologies,
21 you're talking about options; right? Like not technologies
22 but solutions as a whole?

23 MR. ERNE: Yes. Yeah. It is both technologies
24 and like consider options or other solution, approaches,
25 that could be utilized, like purchase of imports or DR

1 mechanisms, as an example, that are not necessarily
2 technology specific.

3 VICE CHAIR GUNDA: Yeah. Thank you. I think I
4 just want to make a comment and see if the consideration is
5 along these ways.

6 But I think there are options in terms of
7 everything that we can think of in terms of improving
8 reliability in the short and midterm, but also the longer
9 transition. You're looking at all of them here.

10 But then to the extent that we are going to
11 create programs to provide grants, or others for that, then
12 the guidelines for those programs will be done later?

13 MR. ERNE: Correct. So this slide just kind of
14 lays out the suite of technologies or options that could be
15 applied between now and 2045. We'll be thinking about
16 whether those are available now or whether they're
17 available in the future. So it doesn't necessarily have to
18 be mature technologies we're considering now, it could be
19 technologies that are under development that we think are
20 going to come out within that timeframe, or other
21 solutions, other options besides our existing DR structure
22 or other structures that we have in the state to deploy
23 clean energy. So we're thinking about all of those and
24 again, over a longer timeframe.

25 VICE CHAIR GUNDA: So I think then the question

1 would be, in terms of what we're looking for from the
2 public input, from the stakeholder input, you're looking at
3 technology options, but not necessarily -- I mean, I want
4 to make this distinction for people who are listening
5 because it's important, that once we have the options,
6 you're going to look at bucketing them into different
7 categories. And when you develop funding programs along
8 those lines, you will write the funding guidelines in a way
9 that most of those options could be applicable; is that a
10 correct way of thinking about it?

11 MR. ERNE: That is correct. And I'll actually go
12 one step higher in the sense that we'll be utilizing this
13 list, not necessarily just for funding options, but for
14 some of our requirements. For example, we are required to
15 take a look at a portfolio of options that could be cost --
16 and do a cost comparison against those against Diablo
17 Canyon. That requirement asks us to look at these
18 technologies and their availability relative to Diablo
19 Canyon. So we won't necessarily have a program associated
20 with that but we need to analyze these so we can compare
21 them and do that analysis and provide information about
22 other approaches.

23 In some cases, we will be using these to develop
24 investment programs, like for DEBA or the Clean Energy
25 Investment Plan. And so this information will be -- will

1 inform the approaches that we might take for incentives in
2 those programs, the approach to utilize that funding,
3 recognizing the boundaries of that program, the legislature
4 has set forth, but then also trying to fill in the gaps.
5 And as I said this morning, we have multiple buckets of
6 money, and making sure that we're coordinating across those
7 different funding resources to be able to have a good
8 diverse portfolio of approaches that do not overlap.

9 COMMISSIONER HOUCK: So just a couple of
10 questions.

11 On the supply options, where you're looking at
12 gas-fired generation, are you -- how are you factoring in,
13 or are you, things like biofuels or renewable natural gas
14 or, potentially, some of the hydrogen pilots that are being
15 looked at, or carbon capture on the longer term? And are
16 you looking at all of the supply options as in addition to
17 what we have right now or are you potentially also looking
18 at retirement of some of the older facilities or, you know,
19 particularly, some of the concerns that have been raised
20 over the last couple of years with OTCs?

21 MR. ERNE: Sure. So we will be looking at
22 different fuel sources for combustion and evaluating those.
23 So, yes, we will be considering that.

24 And then, in terms of retirement, we'll certainly
25 be thinking about retirement and opportunities for where

1 these can replace retirements. I don't think the programs
2 are, you know, are directing us to retire or anything, but
3 we'll certainly look at creating a list of solutions that
4 could be available for those to ensure that we are covered
5 for reliability as those retire.

6 COMMISSIONER HOUCK: And then one more question,
7 and this may be more for the second presentation today, you
8 can let me know, but over the last couple of years, between
9 the extreme weather events, Public Safety Power Shutoffs
10 (PSPS), and other constraints on the system, you know,
11 there's a large number of folks across the state that have
12 invested in backup generation, whether it's fossil gas or
13 propane in particular. And are we looking or considering,
14 in these options, potential investments or ways to try and
15 replace some of those facilities?

16 MR. ERNE: So just to clarify, are you referring
17 to like private customers buying backup generators for
18 their homes? Are you talking about backup generation for
19 like commercial facilities, larger backup systems --

20 COMMISSIONER HOUCK: Both --

21 MR. ERNE: -- or both?

22 COMMISSIONER HOUCK: -- just considering the
23 cumulative impact --

24 MR. ERNE: Right.

25 COMMISSIONER HOUCK: -- that they're all going to

1 be operating at roughly the same time.

2 MR. ERNE: So we do want to consider both of
3 those types of resources and finding opportunities to
4 replace those. So DEBA is meant to help replace some of
5 the fossil backup generators, primarily in commercial
6 industrial facilities. And we're looking at energy
7 storage, as an example, for both commercial and residential
8 in terms of opportunities to allow customers not to require
9 fossil backup generation during PSPS or other events.

10 And we do want to take a look at those locations
11 where you have more predominant outages, whether it's PSPS
12 or other reasons for it, as well as inequity communities.
13 So we're going to be looking at the application of the
14 different technologies and how they overlap with those
15 different areas as a consideration for where we might think
16 about prioritizing investments.

17 COMMISSIONER HOUCK: No, thank you. And that, I
18 think, answered my last part, was looking at equity,
19 because many disadvantaged communities are facing more
20 outages and longer outages than other areas of the state.

21 MR. ERNE: Yes, and we also want to look at areas
22 where, you know, there may be air quality impacts from
23 outside of the region that might impact the quality within
24 a region. So, you know, the pollution doesn't necessarily
25 always start in the disadvantaged community, it starts

1 outside of it, so you may make investments outside of it to
2 improve the air quality within the area.

3 VICE CHAIR GUNDA: Can I just add one comment?

4 I think, Commissioner Houck, to your point on --
5 I think the next couple of slides, we're going to get into
6 this, once we go through the options -- not all these
7 options might be considered, right, at the end, for
8 example, gas. Gas might fit a very specific role in terms
9 of temporary gensets or something for a short term. But
10 like, you know, we're not necessarily looking at these
11 options for the long term. But the idea would be to put
12 everything on the table, judge them through a set of
13 attributes, and get public comment on those.

14 MR. ERNE: Yeah. So for the Clean Energy
15 Investment Plan, we certainly wouldn't be looking at fossil
16 gas products.

17 In looking at alternatives to Diablo Canyon, it
18 might be worthwhile looking at that. This does not
19 necessarily mean we would recommend pursuing those but we
20 think we should at least be evaluating against those and
21 decide whether, at that time, whether they're appropriate
22 or not appropriate, given their cleanliness. And so each
23 of these may not be considered for every single program.

24 But, yes, the intent is to put everything on the
25 table and then start deciding, figuring out, what should or

1 should not be appropriate for each individual program.

2 VICE CHAIR GUNDA: Commissioner Monahan, do you
3 have any questions? Oh, yeah, I see you. Yeah.

4 COMMISSIONER MONAHAN: I do. Thank you.

5 David, I'm wondering, have you considered, I
6 mean, this category of V2X, it's complicated one, right,
7 because at least the V2G, vehicle-to-grid, side is more in
8 the supply options category. But I think it makes sense
9 not to put it in that since it's not -- it's going to
10 depend a lot on consumer behavior that we don't fully
11 understand right now.

12 But, eventually, we could almost think of this
13 hybrid third category around these. And maybe energy
14 storage could fall into that category, too, that where
15 there's this aspect of it that, really, it's a supply.
16 It's not -- it doesn't really fit neatly under demand, but
17 it doesn't fit neatly under the supply options that we
18 already have. And just is there any thinking around this
19 kind of hybridization or a new category to capture that?

20 MR. ERNE: I didn't mean to cut you off,
21 Commissioner.

22 COMMISSIONER MONAHAN: No, I'm done. Yeah.
23 Thank you.

24 MR. ERNE: Yeah, so we actually have been talking
25 about that. And maybe making a third category that is

1 something that could be considered either supply or demand
2 and having three categories instead of two because is --
3 there are -- we want to recognize the attributes of those
4 that could be either both -- could be either supply or
5 demand, and so that is something we are considering.

6 COMMISSIONER MONAHAN: Thank you.

7 VICE CHAIR GUNDA: Yeah. And I also want to add
8 one other thing, Commissioner Monahan, on there.

9 I think there's a multitude of kind of cutting
10 these pieces and kind of setting them up. I think there is
11 another framing we need to think through which is, you
12 know, distribution-side options, given that some of the
13 fundings are limited by the distribution side. Again, we
14 have to define what that distribution-side mainly means.
15 At what level, what voltage, are we cutting that off?

16 So you're right, I think there's a few different
17 ways to really think through to expand this thinking. So,
18 yeah, I look forward to engaging with your office on
19 getting some of those thoughts.

20 MR. ERNE: Any other questions from the dais?

21 Alright, we can go to some public questions.
22 We'll spend about ten minutes on public questions, then
23 I'll move on to the evaluation of attributes.

24 So, Chie, do you want to start?

25 Oh, we'll start in the room with Kurt first.

1 MR. JOHNSON: (Off mic.) (Inaudible.)
2 Speaking (indiscernible) to bring up (indiscernible) Rosa,
3 our treatment plant (indiscernible).

4 (Mic is turned on.)

5 MR. JOHNSON: Oh, substantially better. Thank
6 you.

7 It wasn't -- it was a hybrid. It was partly
8 curtailment, it was partly generation, and there are a lot
9 of assets like that that could be developed. You see it
10 with municipal water systems. You see it with wastewater
11 systems. You see it with some of the combination multi-
12 benefit assets that are doing firefighting and local
13 resilience and a number of different attributes out there.
14 And they don't necessarily -- are they storage? Yes. Are
15 they generation? Yes. Is it load modification? Yes, it's
16 sort of all of that.

17 And so I just want to pass on to keep in mind to
18 try and maybe make the other section something that would
19 be open to something that could perform in both a
20 curtailment, a non sacrifice-base curtailment, which is a
21 critical distinction, but maybe has some additional capital
22 costs to enable that capability. It deploys faster. It
23 typically has an extremely long, useful life. And at the
24 macro scale would allow us to start transitioning some of
25 our infrastructure to match our energy usage with

1 intermittent renewable production and deliver resilience at
2 the same time.

3 Thank you.

4 MR. ERNE: Yes. Thank you. Good point. We've
5 had a number of conversations with water/wastewater
6 utilities about the opportunities there. And there really
7 does seem to be quite a few great synergies in terms of
8 what they can provide from a reliability perspective, but
9 also what they provide from a resilience perspective by
10 being able to operate in emergency situations. So we do
11 have wastewater treatment pumping but, you know, we can
12 make that a broader category. But we have been evaluating
13 that as an option.

14 And I think it's all in the room. So, Chie,
15 questions from Zoom.

16 MR. YANG: We have about 21 questions/comments.
17 There's some comments in here, as well, a very popular one,
18 so I'll leave that one for last.

19 MR. ERNE: Yeah. So, actually, if there are
20 comments, we'll leave them for the comment period at the
21 end.

22 MR. YANG: Okay.

23 MR. ERNE: Only read out the ones that are
24 questions at this point.

25 MR. YANG: Sounds good.

1 First question is, "Why isn't new nuclear, as
2 well as Diablo Canyon, included in the supply options? It
3 is green and firm, which SB 423 requires."

4 MR. ERNE: Good question. We should be thinking
5 about that. Thank you.

6 VICE CHAIR GUNDA: Can I just comment on that
7 one, though?

8 So just in terms of looking at new nuclear in the
9 state of California, obviously, we have, you know,
10 limitations on, you know, putting new nuclear in California
11 because of the state policy. In terms of extending Diablo,
12 we have, right now, specific requirements of -- I mean, we
13 were planning to retire that. Now that the legislature has
14 given us the go ahead to explore the conditions under which
15 they can be extended through 2030, I think that's the
16 legislative paradigm that we are working under. So we
17 would not be considering nuclear as an option outside of
18 that paradigm, given that, you know, that's the state
19 policy at this point.

20 Thank you.

21 MR. ERNE: I apologize for the misspeak.

22 VICE CHAIR GUNDA: Yeah.

23 MR. YANG: Next question is from Joe with
24 Dimension Renewable Energy. "How are you categorizing
25 combined technologies, such as grid connected solar-plus-

1 storage?"

2 MR. ERNE: We have not gotten to the point of how
3 we're going to evaluate those, but we do want to consider
4 both, you know, solar and storage separate and the
5 combination of both solar and storage.

6 MR. YANG: Next question from Heather Hoff.

7 "What checks and balances are in place to ensure that
8 analytics and frameworks aren't unduly and
9 inaccurately influenced by parties with special
10 interests? For example, it just came to light that
11 the original study that basically said we don't need
12 Diablo was funded and commissioned directly by Friends
13 of the Earth, an antinuclear group with direct benefit
14 and interest in trying to shut down the plant."

15 MR. ERNE: So this is just the first of multiple
16 workshops that we plan to have to discuss our approach and
17 development of this analysis. We intend to have more. And
18 we solicit public feedback on all the analysis for helping
19 to ensure that we are being comprehensive, but also
20 addressing the needs of each of the legislative
21 requirements. So we look forward to public feedback
22 throughout. As I mentioned earlier, we have a number of
23 workshops that we're going to be preparing. And I look
24 forward to people providing feedback during that time.

25 At this point, that analysis is primarily being

1 done by CEC, with support from Guidehouse.

2 VICE CHAIR GUNDA: Yeah, if I may add, just to
3 kind of the spirit of this questions?

4 So there's a few different ways the analysis
5 attempts to be technology agnostic; right? So we have
6 certain technologies that we all agree on. That needs to
7 be baked into the analytical framework in terms of wind,
8 solar, all the zero-carbon resources that we, you know,
9 went through workshops and we'll continue to refine those.

10 In terms of nuclear, I think, you know, I just
11 want to make sure, we have a very specific mandate at the
12 CEC to study Diablo's extension as an option for the
13 liability purposes. And I think we're going to do that.
14 Outside of that, given the state's moratorium on nuclear
15 and given, you know, the state policy, that exploration
16 will not be seen as a nuclear option.

17 But I think in in the previous SB 100 analysis,
18 what the agencies collectively tried to do was to develop
19 scenarios where we talked about a clean or zero-carbon firm
20 option as a generic option or a zero-carbon dispatchable
21 option. So that's the way we would approach analytical
22 framework where we would like to look at technology-
23 neutral, more agnostic options but, you know, continue to
24 fill them with technologies that are both allowed within
25 the state policy but continue to emerge the conversation.

1 Thank you.

2 MR. YANG: Next question from Robert Perry,
3 Synergistic Solutions.

4 "Isn't the relative location of a resource through the
5 utility meter the only point of differentiation
6 between supply and demand resources? For example,
7 distributed solar as part of a microgrid would be
8 operated primarily as a net-load modifier. VGI also
9 crosses" -- wait, it looks like moved over a little
10 bit -- "VGI also crosses between supply and demand."

11 MR. ERNE: Can you repeat that question again?

12 MR. YANG: Yeah. "Isn't that relative location
13 of a resource through the utility meter the only point
14 of differentiation between supply and demand
15 resources?"

16 MR. ERNE: Yes, so that is an important
17 distinction. However, we should be thinking about options
18 where something may be providing demand reduction, for
19 example, like a microgrid can meet demand reduction, but
20 there might be opportunities for having export, which would
21 make it a supply option. And so we want to be thinking
22 about both of those structures and whether there are
23 changes that need to be made to allow both of those to
24 occur.

25 MR. YANG: Next question from Roger Lin with the

1 center of Biological Diversity.

2 "In developing the matrix to compare resource options,
3 is it possible to include an assessment of the
4 resource potential benefits and impacts to DACs? This
5 is in order to compare those resources to one
6 another, in addition to Diablo Canyon."

7 MR. ERNE: Thank you, Roger. Yes, we are
8 definitely interested in looking at the challenges -- or
9 the opportunities around these technologies and how they
10 can benefit disadvantaged communities and looking at both
11 the social costs and non energy benefits. And we are going
12 to be incorporating that into our next SB 100 analysis, but
13 also trying to incorporate that into all of our work moving
14 forward, so we can consider all of those benefits.

15 MR. YANG: Next question from Jennifer Lu.
16 "What's the difference between answering the questions
17 through the RFI and submitting written comments?"

18 MR. ERNE: That's a really good question. And
19 it's more of a reflection of us not getting the RFI out as
20 quickly as we expected, and then realizing that we wanted
21 to have a longer period of comment.

22 And so you're welcome to provide your comments in
23 either form. We will be accepting those and considering
24 those in the programs in either way. So our apologies on
25 the administrative side of this but there's, from our

1 perspective, there's no difference. We'll use the
2 information both ways.

3 MR. YANG: Next question from Jan. "How far do
4 these analyses go? Is it all the way to 2045 or earlier?
5 And, if so, why?"

6 MR. ERNE: So the majority of the analyses for
7 the work that came from legislation this summer is through
8 2035, although we want to be able to think about it longer
9 up to 2045, simply because of SB 100 analysis. So we might
10 actually have a -- you know, I see this as a progression in
11 our analysis over time that we intend to build and continue
12 to improve and refine for a variety of purposes. And so,
13 you know, I think initially, we'll be thinking out to 2035,
14 and then expanding it beyond that.

15 MR. YANG: Next question from Jeff.

16 "Where do you count for waste to energy ,such as
17 digester and gasification fuel systems, gas-fired, but
18 also renewable and DER, too?"

19 MR. ERNE: Good question. Something we should be
20 thinking about.

21 MR. YANG: "How do you see the role of small
22 scale combined heat and power on the supply and demand
23 list? CHP fits include hospitals, apartment
24 buildings, and manufacturing with a thermal need."

25 VICE CHAIR GUNDA: Yeah, if I may just jump in on

1 this one?

2 I think some of the spirit of the questions in
3 terms of specific technologies or solutions and approaches,
4 I think, at this point, at this stage, I think we want to
5 put everything on the table, in general, as an option.
6 Because we're looking at, as David mentioned, a few
7 different elements; right? We're looking at what are the
8 options that can be very quickly dispatched, given the
9 enormous, extraordinary situation, the reliability
10 situation we're in? So some of the technologies, we might
11 not want to pursue in the long term, especially from a
12 standard assets point of view, equity standpoint of view.
13 You know, we might be in a situation that necessitates a
14 hard situation where we might want to entertain a solution
15 for a short term.

16 So I think what we're asking at this point is,
17 when we look at the reliability problem, and the
18 reliability problem we have as at the top of the
19 presentations today, David mentioned, you know, we have the
20 problem of making sure we are always procuring to the
21 limits that we have to procure to, right, in the planning
22 standards. And to the extent that there are delays in
23 either procurement or delays in deploying or developing to
24 the procurement levels, that is a small sliver we have to
25 continue to think through how best to support.

1 There is another chunk on the top of that which
2 is that the bigger -- big issue in the short term, which is
3 how do we manage this volatility of 3,000, 4,000, 5,000
4 megawatts? And those 3,000, 4,000, 5,000 megawatts are
5 needed today and we do not have them.

6 So some of them, you know, like a number of you
7 noted, the extraordinary actions that we've all
8 collectively taken this summer came both from the demand
9 and the supply side. So we know that the both options
10 could be available, and not all of them were clean, and not
11 all of them were something we would consider for a long-
12 term clean energy transition but might need to rely on them
13 on a very short term basis.

14 And then the third part is, regardless of what
15 we're doing in the reliability to securing this issue in
16 the short term, we have to, on the long term, ensure the
17 transition and the transformation of the clean energy
18 resources is happening and we put in money where it's
19 needed or policies where it's needed.

20 So I think what we want to do at this point is
21 let us put all those things on the table, all the other
22 things we can do to both support the long-term transition,
23 but the short-term problem of volatility. Again, when we
24 say short-term problem of volatility, that could be long-
25 term, too, if we don't deal with that with other resources;

1 right?

2 So I think what we want to do is put everything
3 on the table, think through what reliability lenses we want
4 to judge them through or analyze them through, and the
5 attributes that we need to really look at them, so all of
6 that we want to do. So for the technology-specific
7 questions, I would just request that, think about it that
8 way, that all the options are on the table for now.

9 And specific to nuclear and Diablo and given the
10 previous moratorium, and the state policy, we are not,
11 right now, looking at Diablo as an option beyond 2030. The
12 legislature gave us very, very clear direction to look at
13 the option of extending it to 2030 for reliability
14 purposes. And beyond that we do not have a state policy,
15 you know, asking us to even directionally looking at that,
16 because we don't think that's an option at a state level at
17 this point.

18 MR. YANG: Our next question, "Why is new large
19 hydro not considered in list?" It moved again. "There's
20 at least been plans for large flood control reservoirs."
21 Sorry about that. Lost my place. Oh, there it is.

22 Again, "Why no new large hydro? There has been
23 at least plans for large flood control reservoirs,
24 which could also have hydropower and possibly add
25 generation to existing large reservoirs."

1 MR. ERNE: Yeah, so most of the programs are
2 thinking about distributed-type headsets. I had not
3 thought about large hydro for a number of these programs,
4 given the challenges we've had with getting large hydro in
5 place. We'll go back and reassess that.

6 VICE CHAIR GUNDA: And I just want to reiterate
7 the spirit of what I said, and I think some of these
8 questions came before that.

9 To the extent that you think that's an option we
10 should consider as a state for near-term reliability or
11 long-term, and you'll see that we are not considering
12 specific pathways for building that, please, we are
13 interested in that information, put it on the table,
14 because we would love to be aware of all the options before
15 we go forward into public stakeholder input and deciding on
16 the final set of options.

17 MR. YANG: Next question from Sam.

18 "Can you say more about how you will consider avoided
19 costs, just based on CPUC methods and others, as well
20 as co-benefits, societal, et cetera?"

21 MR. ERNE: So the costs and benefits, we still
22 need to evaluate our methodology on that. Those are
23 attributes that we want to consider for our analysis.
24 We have a fair amount of work to do on the nonenergy
25 benefits in terms of developing methodologies for that.

1 And we noted in a couple -- about a little over a month ago
2 that we plan to have a solicitation that we'll be looking
3 for support to help us develop nonenergy benefit
4 methodologies. And so that's something that will not
5 likely be available to us in the near term but is something
6 that we do plan to build out and be able to incorporate in
7 our analysis moving forward.

8 MR. YANG: Next question from Dan.

9 "How do you distinguish between solar and storage
10 behind-the-meter and direct-to-grid ahead of the
11 meter? How would it be categorized, supply or
12 demand?"

13 MR. ERNE: We have listed them here in the supply
14 side. But clearly the -- as we mentioned earlier, we might
15 need to create a new bucket, that the Commission Monahan
16 had noted, about -- that could be for those, separate those
17 that are could be both supply and demand from those that
18 are largely supply. And I think having the three
19 categories might make the most sense.

20 MR. YANG: Next question from Brian.

21 "On slide 53, have you considered including standalone
22 transmission as an option, since that can be an
23 effective solution, especially in terms of addressing
24 local reliability?"

25 MR. ERNE: So the programs that we are being

1 asked to evaluate and develop for are not allowed to or
2 not -- do not incorporate transmission as an option to be
3 funded, and so we've not incorporated that here as terms of
4 our analysis.

5 VICE CHAIR GUNDA: Just wanting to add on that
6 one.

7 I think just reminding everybody in the
8 legislative cycle, we had an Bank (The California
9 Infrastructure and Economic Development Bank) -- I'm short
10 on my words -- but, basically, there is money for specific
11 transmission for Bank to potentially help finance.

12 So I think there are elements. I mean, first of
13 all, I think it's a recognition of the transmission issue
14 and opportunities for supporting the development of new
15 transmission. But as David noted, specific to the work
16 that CEC is entrusted with, we do not have opportunities to
17 necessarily invest in infrastructure.

18 But having said that, if that is something that
19 people feel very strongly, we would love to hear about that
20 so to, at least, develop as a recommendation.

21 MR. YANG: I believe that's all the questions.
22 The remaining questions are all in similar fashion.
23 Commissioner Gunda, you've addressed most of those in sort
24 of that same bucket. The remaining ones that we can answer
25 through the chat.

1 MR. ERNE: Great. Any final questions or
2 comments from the dais before we move on?

3 VICE CHAIR GUNDA: No. I'm seeing a bunch of
4 comments that are -- I think perfectly segue into the next
5 slide, next discussion of the attributes and keeping it
6 agnostic to performance metrics.

7 Thank you.

8 MR. SAMUELSON: We do have a couple raised hands.
9 Do we want to go through those, David?

10 MR. ERNE: For raised hands, we'll use that --
11 that function, we're going to use for the comment period,
12 so I'm assuming those folks are providing comments instead
13 of questions.

14 VICE CHAIR GUNDA: Let's get through those two,
15 just two. Let's get it. Maybe they have a question.

16 MR. ERNE: Alright.

17 VICE CHAIR GUNDA: If not, we will -- if it's a
18 public comment that you want to do, please, if you can --
19 if you're -- yeah.

20 So Todd has a question. Let's go with that.

21 MR. SAMUELSON: Okay. Tod O'Connor, you are
22 allowed to talk.

23 MR. O'CONNOR: Thank you, I guess I can hear
24 myself in the background.

25 Very basically, I represent Strobel (phonetic)

1 Energy, a behind-the-meter thermal energy storage provider
2 and wanted to chat about the attributes.

3 We believe long-duration energy storage could
4 also be put in the demand side of the equation. And we
5 believe there are behind-the-meter energy storage solutions
6 that could fit in both buckets.

7 So thank you for the opportunity.

8 MR. ERNE: Thank you.

9 Next one.

10 MR. SAMUELSON: The other hands were lowered.

11 MR. ERNE: Okay. Great.

12 Alright, so if we can move forward a couple of
13 slides?

14 Alright, so in addition to laying out the suite
15 of technologies and approaches that we want to be
16 evaluating, we also need a way to evaluate those approaches
17 and technologies for purposes of doing our comparison for
18 Diablo Canyon, but also considering them for different
19 programs. We have thought about several types of
20 attributes, both qualitative and quantitative, and want to
21 be able to talk about those as our evaluation matrix and
22 get feedback on those. What our intent is, is to be able
23 to try to lay out is a variety of resources and evaluate
24 each of those options versus a certain set of attributes.
25 And some of those, as I mentioned, some of those will be

1 qualitative and some of those will be quantitative to be
2 able to make sure that we can try to compare them.

3 Next slide.

4 So our qualitative attributes are listed here
5 that we've identified so far and I'll walk through each of
6 them on the next two slides. We got to consider the first
7 five of them related to achievability, so it really relates
8 to the way of getting these technologies out and online,
9 versus more inherent characterization of the operation of
10 those technologies or approaches, which are the remaining
11 four, and so evaluating those in slightly different ways
12 but considering ways to think about those.

13 We'll be looking for feedback on these
14 attributes. And I'll walk through the attributes in a
15 second. But looking forward for perspective on do we have
16 the right set of attributes, other attributes we should be
17 considering for our qualitative attributes?

18 Next slide.

19 So as I mentioned, these first five relate to
20 more about the achievability, so the ability to get these
21 things online and in a timely fashion and functioning, so
22 readiness related to its maturity. And we're, again,
23 looking at technologies that may not necessarily be ready
24 right now but could be ready in a few years because we're
25 thinking, at least out to 2035 and for SB 100 and beyond.

1 Some of the -- the next three relate to
2 challenges that we currently see in getting new resources
3 online. The permitting aspect, often related to CEQA,
4 interconnection challenges, and supply chain challenges.
5 And there are technologies now that we want to get online
6 that have these particular issues. And we want to
7 identify ways to overcome those challenges and address
8 those attributes. So even though something may have a
9 problem right now with permitting (indiscernible) to supply
10 chain, that doesn't mean we wouldn't consider it. We'd
11 identify that those are challenges and look for
12 opportunities to overcome those challenges to make those
13 technologies more available.

14 And, clearly, customer acceptance, particularly
15 for behind-the-meter solutions, is important. Some have
16 better acceptance than others. And we have to look for
17 ways to address that when we're thinking about options,
18 particularly for situations where we need to get something
19 built in sooner rather than later. And it may not -- it
20 may take something that has great customer acceptance now
21 and work to develop customer acceptance for other
22 approaches or technologies down the road.

23 Next slide.

24 This relates more to attributes about particular
25 technology in terms of GHG and criteria pollutants, the

1 ability to dispatch the resource and, basically, the
2 duration of its availability, the alignment to our overall
3 policy objectives, and its importance in supporting equity
4 in diversity communities. So those are attributes that we
5 want to be able to consider and think about in terms of
6 their ability to address these particular attributes well
7 because they're all important attributes that we are going
8 to consider in our analysis.

9 You can go to the next slide.

10 What we envision for our qualitative analysis is
11 maybe a comparison of technologies by looking at their
12 achievability and their -- and kind of qualifying their
13 performance. So this is illustrative, but we're thinking
14 of, you know, achievability in terms of it's available now
15 and available through 2035 with checkmarks. It could be
16 technologies that may not be available in the next couple
17 of years but could be online and successful from '25 and
18 beyond, as an example. So we want to think about how
19 quickly we can get these resources online. That will
20 affect investments in the near term in the long term.

21 And on the right hand side, using Harvey balls
22 are the equivalent try to characterize the other attributes
23 in a qualitative way so that we can make some comparison
24 against those different attributes. Again, not necessarily
25 a perfect example, but it helps us get information about

1 where there are challenges and how -- and where we might
2 want to seek solutions to overcome some of those
3 challenges.

4 Next slide.

5 We're also going to be looking at quantitative
6 analysis, particularly looking at their ability to be
7 deployed and the amount of megawatts we can get online, and
8 in what years, as well as the levelized cost estimates. So
9 we're looking for information, both on put deployment
10 potential for different technologies year by year, and also
11 the cost and how those costs might vary year by year.
12 Because just because something can be available this year
13 at a certain cost doesn't mean it wouldn't be cheaper down
14 the road with more developments. And so we're looking for
15 feedback on what those cost curves look like and what
16 deployment might look like based on available manufacturing
17 capability or other aspects.

18 And we also want to be thinking about this,
19 potentially in a low, medium and high range perspectives.
20 And these aren't necessarily perfect and we want to be able
21 to think about the range in which they could be available
22 and the range which they might be cost effective over the
23 long term. We recognize things that, you know, for
24 example, with DOE's efforts to try to get the cost of
25 hydrogen down. And if that's successful, that could make

1 hydrogen much more successful, much more cost effective
2 down the road than it is right now. And so we want to be
3 able to take those factors into account.

4 Next slide.

5 So in our RFI and public feedback, we're
6 interested in, you know, are these the right set of
7 attributes? Are there other attributes we should be
8 considering? We have not put a weighting on any of these
9 attributes. We're looking for feedback on whether any of
10 them should be weighted more than any others. And also
11 looking for data or sources of data that we can utilize to
12 fill in the qualitative attributes so that we can evaluate
13 and compare these, again, near term, midterm and long term
14 as there are opportunities.

15 So those are the questions we're putting out to
16 the public for feedback. And we're also going to be
17 putting these into the RFI to receive feedback on so that
18 we can inform our analysis and make sure that we're
19 building out our analytical approach, as well as gathering
20 the data necessary to do the comparison.

21 So we'll pause there and turn it over to the dais
22 to see if there are any questions on our preliminary
23 thinking on our methodology, and then we go to Q&A from
24 public.

25 VICE CHAIR GUNDA: Yeah. Thank you, David. No,

1 I think this is a really, really important element of the
2 analysis. And I just wanted to give a shoutout to, you
3 know, Amal (phonetic) and team from Guidehouse, who has
4 been supporting us, on some of this thinking as well.

5 So I think, yeah, I think I just wanted to lay
6 this out for people who are in the conversation together
7 today. So we want to be able to make sure we're thinking
8 about what we're solving for; right? What are the options
9 we're looking and what are we solving for?

10 I just want to reiterate, because I think it's
11 important, we'll try to get it on record in the RFI, we're
12 trying to solve for extremely near and midterm issues of
13 reliability and just volatility. That's an important
14 element we're trying to solve for.

15 We have another thing we're trying to solve for,
16 which is through the 2030 timeframe, you know, are there
17 enough options as we conduct our reliability analysis under
18 a variety of scenarios, are there enough feasible options
19 to let go of Diablo, and it is prudent; right? The
20 Commission has to vote on that. So the analysis that we do
21 collectively, and then all the stakeholder input, has to be
22 robust enough to make that judgment call.

23 And I think the third element that we're trying
24 to solve for is as we move forward in the SB 100 goals,
25 given the levels of procurement we are trying to do, and as

1 we adjust for climate change impacts, you know, the
2 volatility might continue to last. And how do we ensure
3 that we are scaling the appropriate clean energy
4 technologies as quickly as we can?

5 So we're trying to solve for all that; right?
6 And then, so when we try to solve for all that, one of the
7 first things we tried to do, as David mentioned in the
8 previous part of this section, is, you know, just what are
9 the different technology options? How do we frame those
10 options? And how do we bucket them so that we can, to the
11 extent that we are trying to address the barriers and solve
12 and invest in a we have, you know, we a cleaner way of
13 talking about them? Obviously, we can talk about 1000
14 different solutions but we coalesce around, you know,
15 buckets of solutions. So that's kind of one element.

16 This element then is, to the extent that we have
17 technologies, you know, for us to be able to vote on an
18 important prudency question of can we deploy options to
19 negate the need for Diablo, we really need to think through
20 the feasibility, how many megawatts are available? You
21 know, are we looking at the right attributes in determining
22 whether a particular technology is something we want to
23 consider as an alternative and so on?

24 So I think it's important. This section is
25 about, you know, once we have the options, you know, how do

1 we judge those options through a variety of lenses of
2 interest for us, both in terms of solving all these three
3 layers of problems? And then you know, you know, how do we
4 do it? really quantify it? You know, how do we quantify
5 it? All those are important questions.

6 So I just wanted to level set. And I really
7 liked the way you're going here, David, and just want to
8 level set that here from my perspective.

9 COMMISSIONER HOUCK: This is a really good
10 discussion, a lot of good information. And I know, you
11 know, the questions in the comments in the Q&A make some
12 really good observations and I think are going to be really
13 helpful as you're moving forward with this analysis.

14 VICE CHAIR GUNDA: Sorry. I'm looking for --

15 MR. ERNE: Is Commissioner Monahan still on?

16 VICE CHAIR GUNDA: Commissioner Monahan, or
17 Commissioner McAllister joined, as well ,a little while
18 ago. Any questions?

19 COMMISSIONER MCALLISTER: I did, yeah. Sorry, I
20 may have missed some stuff, so I didn't want to jump in
21 first.

22 But appreciate, definitely, this sort of taxonomy
23 or this methodology approach. And, you know, I think it's
24 still pretty open architecture, although you've still --
25 you know, you've got a bunch of stuff flagged that needs to

1 go into the bucket of considerations. And so I think
2 that's an appropriate place to start.

3 Obviously, I would really encourage folks to
4 think, submit comments, not just now but just ongoing, as
5 to how we can, I think, you know, sort of have -- check
6 multiple boxes, you know, really could achieve multiple
7 things .

8 On the demand side, in particular -- that matrix
9 of resources on the supply and demand side I think was
10 compelling and probably can be added to. But on the demand
11 side, you know, Commissioner Monahan, this morning, brought
12 up equity perspective, and I think on the demand side that
13 is probably most acutely important to consider as we look
14 at investments in our buildings and how to broaden access
15 to zero-emission vehicles. Those considerations, I think,
16 need to roll up with reliability in a way that we are
17 transparent about. And, you know, there are all sorts of
18 broad social -- potential social benefits to those
19 investments.

20 So while on the one hand, yes, we absolutely want
21 reliability, and that's what we're here to talk about
22 today, we also have the opportunity to improve, you know,
23 indoor air quality, access to sort of these
24 transformational technologies, economic growth, and a bunch
25 of other more broad, you know, benefits that will accrue

1 from all these investments as well.

2 And so how we weight those different approaches,
3 you know, to David's kind of plea, too, for input, how we
4 how we weight and prioritize the various approaches is
5 going to matter for people on the ground, you know, in the
6 real world out there.

7 So, really, it's a multifaceted conversation, and
8 I think we're up to having it, and it's a really exciting
9 moment to be approaching this topic, so I appreciate
10 everybody's engagement. But thanks for thanks for the --
11 it was a very good level, I think, for the tee-up here with
12 the presentation, so thanks, David and team.

13 COMMISSIONER MONAHAN: Yeah, agree. And I do
14 think this is a really interesting taxonomy. And it will
15 be great to get public input on whether this is the right
16 set of attributes or what else should be added.

17 And one of the issues, I think, that we need to
18 wrestle with this this time quality around the assessment,
19 that, for example, on achievability, we might be able to
20 say like, well, in the near term, vehicle grid integration
21 technologies are nascent. And so the achievability is low
22 in terms of, you know, near term, but over time, as
23 technologies improve, one would think that the
24 achievability will grow. So this idea that there's a time
25 dimension to these attributes as well.

1 MR. ERNE: I agree. I think that's very
2 important and why we want to look almost year by year in
3 terms of the deployment of the technology, because we think
4 that, over time, some of these options, like V2G, will
5 increase and could be a much more substantial opportunity
6 than it is right now and we don't want to overlook that.
7 We want to make sure we're considering that and, certainly,
8 continue to identify barriers to making those technologies
9 happen more rapidly.

10 VICE CHAIR GUNDA: Yeah, just adding to that, I
11 think, Commissioner Monahan and Commissioner McAllister, I
12 absolutely agree with you.

13 One part of, Commissioner Monahan, what you're
14 mentioning is, in terms of achievability, too, this is
15 where I think we look forward to the stakeholder input on
16 other barriers; right? So we're going to talk about that
17 because I think there is a natural level at which some of
18 these might grow and might not grow. And what are some of
19 those things, even if we're thinking about a specific
20 technology or an option or an approach, on the long term,
21 you know, like, what are some key elements that we need to
22 solve? And if there is, you know, legislative support that
23 we need or, you know, financial support, I think it will be
24 helpful to understand that so we could put that as a
25 recommendation as we move forward.

1 MR. ERNE: Any other questions from the dais?

2 VICE CHAIR GUNDA: Back to you.

3 MR. ERNE: Alright, should we go to -- any
4 questions in the room?

5 MR. DAY: Hey again. It is on. Michael Day
6 again, responding in a personal capacity. Two things.

7 One is that I'd encouraged the sort of question,
8 ask if Staff has been paying attention to the PUC
9 proceeding on the Microgrid Incentive Program? There's
10 been a really robust amount of interaction, including from
11 a lot of stakeholders that don't normally participate in
12 these proceedings. And they're specifically getting into
13 the evaluation criteria, because a lot of the back and
14 forth there has been on the scoring criteria. But in that,
15 there's been a really robust discussion about what are the
16 different criteria by which something should be evaluated.
17 And I'd encourage some of that input to be ported over to
18 the extent possible.

19 The other one, it -- oh, I'm sorry.

20 MS. DECARLO: Oh, just really quick.

21 Just when Staff -- I would just appreciate not
22 getting into the substance of that because it could be
23 considered an ex parte communication, so --

24 MR. DAY: Okay.

25 And so the second part is, is it -- we use the

1 phrase disadvantaged communities, and it's used in a lot of
2 different ways. And I'd encourage us to look at an
3 expansive discussion about it. Obviously, CalEnviroScreen
4 is a great tool if you're thinking about placing a thermal
5 plant and you don't want to put it in communities that have
6 been really disadvantaged by how it was placed. But there
7 are other metrics that we should be looking at and I'd
8 encourage a more expansive. So is it economic? Is it --
9 if you look, for example, at Lake County, that has some
10 severely disadvantaged census tracts, but also gets
11 subjected to regular de-energization events, which has a
12 really much more difficult time for families that are in
13 those areas.

14 I'd just encouraged that whatever we're going to
15 end up coming up with in terms of the scoring rubrics and
16 methodologies should take into account -- shouldn't just
17 start, you know, assuming that we already have the concept
18 of disadvantaged communities worked out and should look at
19 it in a more wholistic basis.

20 Thank you.

21 MR. ERNE: Very good point about the
22 disadvantaged communities. That's actually a really large
23 portion of our IEPR this year, is looking at equity
24 communities and how best to integrate the consideration of
25 equity into all of our programs, and how to create equity

1 indicators that will be useful for guiding those programs.
2 So definitely agree that DAC is not a perfect definition.
3 I think we all recognize that and we need to think about a
4 different way of categorizing and supporting those
5 communities.

6 MR. DAY: So apropos the microgrids proceeding,
7 yeah, there's a set of very detailed comments filed and the
8 microgrids proceeding by the Microgrid Equity Coalition, so
9 that's all in the public record. It's very germane to the
10 conversation.

11 And specific to this issue of sort of valuing
12 local DERs, I think it would be really important to assign
13 values, you know? I would sort of posit that, you know,
14 100 pennies is worth more than \$1.00. And the value of
15 having the DERs is not adequately sort of represented in
16 the models that I've seen. There's different models that
17 are consideration of PUC. But specifically assigning a
18 value to how we have a more resilient system with thousands
19 of DERs would be an important part of the sort of the scale
20 in evaluating the relative merits. And I have not seen
21 that to date, so I think it would be sort of why as part of
22 this conversation.

23 Thank you.

24 MR. ERNE: That's a very good point. I don't
25 think we'll come to that conclusion within the next couple

1 months. But we do have an open DER proceeding. And
2 through that proceeding, we're intending to conduct
3 analytics using available AMI data to try to help inform
4 how we can think more clearly about deployment of DER and
5 its value, its benefit, to the customer and to the grid,
6 both.

7 Any questions online?

8 MR. YANG: So we have nine questions on Zoom.

9 First question from Sam. "How are land impacts
10 and local resilience and reliability considered?"

11 MR. ERNE: So land impacts, we're considering
12 that for SB 100. We're going through a whole process on
13 that to understand the land impacts for large deployment of
14 DER -- or large deployment of renewables. We have not
15 considered that so much for the distributed assets because
16 we haven't considered that as being much of a as much of a
17 challenge as for the large resources.

18 And local resilience is something we are -- and
19 reliability are something we're thinking about. We don't
20 currently have great models for looking at that but we're
21 looking at ways to improve our ability to understand local
22 reliability and resilience.

23 MR. YANG: Next question from Jan.

24 "Does cleanliness include build emissions? I note
25 your solar example says no direct emissions, but

1 manufacturing, and even transport, does create
2 emissions.”

3 MR. ERNE: Good point, something we should be
4 looking at for our overall cleanliness evaluation.

5 MR. YANG: Next question from Peg. “Might costs
6 and efficiency be an attribute?”

7 MR. ERNE: So cost is included into our
8 quantitative analysis. And efficiency, you know, I view
9 efficiency more on the capacity -- on the dispatchability
10 perspective is where that's captured. So I think we've
11 captured those in our existing attributes. If I'm missing
12 something else that you're pointing to, then please provide
13 additional perspective and we'll certainly look forward to
14 evaluating that.

15 MR. YANG: Next question from Daniel with the
16 Sierra Club.

17 “How do you plan to use your individual analysis to
18 compare a portfolio of supply and demand options to a
19 singular resource, Diablo Canyon?”

20 MR. ERNE: It's a really good question. It's
21 challenging. So part of what we're going to be looking at
22 is what we think the variety of funding resources that are
23 out there, what they are intending to support in the near
24 term. So there were a number of programs, Long Duration
25 Energy Storage, our -- the CPUC's SGIP, other programs that

1 are going to be funding a variety of activities. And so
2 we're going to try to take a look at what those programs
3 might already be doing or expected to be doing to create
4 portfolios and looking at a variety of different parameters
5 that could influence how those portfolios might be
6 deployed. And so we're going to create like a high,
7 medium, low type options, set of options. And we're not
8 quite at that point yet but that's certainly something we
9 have to overcome. And if you have recommendations, we look
10 forward to hearing.

11 MR. YANG: Robert Perry with Synergistic
12 Solutions.

13 "Doesn't qualitatively analyzing a single resource,
14 like solar, miss the larger picture of how that
15 resource operates in combination with storage, VGI,
16 and other technologies that provide dispatchability?"

17 MR. ERNE: We will be looking at resources in
18 combination, like solar and storage, so we will be
19 evaluating those as combinations.

20 MR. YANG: Question from Sam. "Your previously
21 identified load shift as a major opportunity, how will
22 you use -- how will you evaluate resources towards
23 meeting this result?"

24 MR. ERNE: We're in the process of looking at
25 some -- conducting some analysis with Guidehouse's support

1 on load shift and opportunities for load shift. And so we
2 plan, as we develop that analysis out further, feeding that
3 into this analysis, as well as the load shift goal. So
4 we're in the process of developing that methodology out and
5 we'll have that covered in a future workshop.

6 MR. YANG: "As electronic grid resources and DR
7 SCADA systems are connected to the grid, given the
8 scarcity of U.S. inverter manufacturing, has CEC given
9 consideration to national security risk exposure to
10 cyber attacks?"

11 MR. ERNE: We have not gotten to that level of
12 detail in our analysis at this point but we will be
13 identifying those as potential challenges for deployment.

14 MR. YANG: "Will the report include potential
15 policy changes that need to occur to better unlock
16 resource deployment potential? For example, community
17 microgrids have limits on when they can island and
18 where they can be deployed. Front-of-the-meter
19 interconnection timelines and costs could also be
20 addressed."

21 MR. ERNE: Yeah, the answer is, yes, we will have
22 policy recommendations that will be part of our reports,
23 both on the reliability side and for the program reports
24 that we'll be developing.

25 MR. YANG: "Have you considered dollars per

1 megawatt of reliable capacity or costs per ability to
2 serve from 4:00 to 9:00 p.m.?"

3 MR. ERNE: Those are good factors for some of the
4 programs. They may not be good factors for other programs.
5 But that's really good point that we should be evaluating.

6 MR. YANG: The second part of that question.
7 "And time to in-service dates to address near-term
8 reliability dates, can attribute weighting change over
9 time?"

10 MR. ERNE: Good question. We don't currently
11 have any attributes weighted one or the other. So we look
12 for your feedback on how to best structure that analysis.
13 I'm interested in hearing your perspective.

14 MR. YANG: Last question. "What level of
15 confidence in future SGIP funding is appropriate in this
16 work?"

17 MR. ERNE: That has yet to be determined. We
18 have set up some conversations with CPUC staff. I don't
19 think -- I won't speak for them but I think we have to have
20 conversations about that and see what their thoughts are.
21 But we're in the early stages of those conversations.

22 Alright, well, thank you so much for the
23 questions and the feedback on our lists and our attributes.

24 Oh, Brian, is there another question?

25 MR. SAMUELSON: Yeah, we have two raised hands.

1 MR. ERNE: Oh, okay. Let's go the raised hands
2 then.

3 MR. SAMUELSON: Julia Levin, you are available to
4 talk.

5 MS. LEVIN: Hi. Thank you. Julia Levin with the
6 Bioenergy Association of California. And I also sort of
7 put this question in the Q&A, but I think I didn't get it
8 in in time.

9 I apologize, I missed, actually, the presentation
10 because I've been toggling back and forth between this and
11 the Air Board's Scoping Plan workshop today, so I'm
12 reacting more to the slides than the presenters.

13 But I am concerned that on slide 53, bioenergy is
14 not even mentioned as a distributed energy resource, even
15 though it's required by state law. Under renewables,
16 neither bioenergy nor hydrogen are listed. And then under
17 storage, it doesn't mention renewable gas of any form, even
18 though it can provide long-duration energy storage. So I'm
19 concerned about the complete omission of bioenergy, and
20 then hydrogen in several places as well.

21 I also wanted to say, in defining cleanliness
22 attributes, I think we do need to talk about the lifecycle
23 impacts of different resources, including where the raw
24 materials come from, for instance, for batteries, and end-
25 of-life disposal issues, which we really have not begun to

1 address, even though we're going to talk about a massive
2 build out of new resources.

3 And then finally, under attributes, I would say
4 by far the two most important, from a climate standpoint,
5 it is the reduction of short-lived climate pollutants,
6 which has never been mentioned in the presentation. And
7 from an energy reliability standpoint, I think it's the
8 need for more firm renewables.

9 So those will be our top two recommendations for
10 attributes that we should be looking for.

11 Thank you.

12 MR. ERNE: Thank you, Julia. And just to point
13 out, Commissioner Houck also noted that we had not included
14 the bioenergy and hydrogen in our -- specifically called it
15 out. In our heads it was there but not in the wording, so
16 thank you for additionally pointing that out. And we look
17 forward to your additional input, either in response to the
18 workshop or the RFI.

19 MR. SAMUELSON: Bert Wank, you're available to
20 talk.

21 MR. WANK: Yeah. Good afternoon. Bert Wank, CEO
22 of InfiniRel Cooperation from (indiscernible) recipient.

23 And one part really pops up as a great tool, I
24 would inject, as a quantifiable method for addressing the
25 reliability of any system, which is called FMEA, a failure

1 method and effects analysis. That's been done by numerous
2 industries that we can draw from. Aerospace, automotive,
3 semiconductor, and telecom, they all have used that
4 process. That would be one easy way to map over and get a
5 quantified point of reliability, which then also impacts
6 availability of any resource that's been considered.

7 MR. ERNE: Thank you.

8 Any other questions? That's it.

9 Alright, so at this point, we're going to move to
10 a discussion of the distributed electricity backup assets
11 program. And we have Deana Carrillo on Zoom, who will be
12 joining us to give an overview and talk about her program.

13 Deana?

14 MS. CARRILLO: Thanks, David.

15 Good afternoon, everyone. My name is Deana
16 Carrillo and I'm the Director of the Renewable Energy
17 Division. And we are the team here at the Energy
18 Commission that's going to be working with David's team to
19 help stand up DEBA, or as we've been calling it, but it's
20 the Distributed Electricity Backup Assets Program.

21 Next slide, please.

22 So we're just reviewing a few slides today, or a
23 little bit about the DEBA. We've got a broad foundation
24 now of the general overview and the broad perspective that
25 the Energy Commission and sister agencies are taking to

1 explore these issues. And wanted to give you some insight
2 in how we will be thinking about launching this program and
3 the information that you'll be providing in the RFI and in
4 your public comment and how that can help shape it.

5 So a little background to begin. You've heard a
6 little bit about this before, but for those who were with
7 us fresh this afternoon, Assembly Bill 205 was a budget
8 trailer bill approved by the legislature and the Governor
9 at the end of June this past year. It created the
10 Strategic Reliability Reserve. And the Distributed
11 Electricity backup Assets Program, informally referred to
12 as DEBA, is a component of those efforts.

13 The program's budget is \$700 million over the
14 next five years. And as it's been mentioned, its purpose
15 is to incentivize the deployment of cleaner and more
16 efficient distributed energy assets that would serve as
17 on- call emergency supply or load reduction with the
18 state's electrical grid during extreme events, like we have
19 this past September.

20 This program is statewide. And while it supports
21 the installation of new assets, awardees are required to
22 participate as an on-call emergency resource under its
23 sister program, the Demand Side Grid Support, or a similar
24 program, such as Emergency Load Reduction Program in IOU
25 territories. And we're still working on some of those

1 details as we get those program off the ground.

2 Awardees for efficiency upgrade projects must
3 also comply with the state's mandatory reporting of GHG
4 emissions and market-based compliance mechanisms.

5 Next slide, please.

6 So as I mentioned, the goal of this program is to
7 spur investments in cleaner assets for distributed
8 electricity and support during emergency events. DEBA can
9 fund efficiency upgrades, maintenance, and incremental
10 capacity additions to existing power generators, as well as
11 the deployment of new zero or low-emission technologies,
12 including but not limited to fuel cells, energy storage.
13 These are some of the potential technologies that we have
14 been brainstorming about of what we could be able to
15 support under the program. They're just examples.

16 Following this workshop, you've heard that we'll
17 be releasing an RFI to obtain information on what type of
18 technologies, automated devices. We do use a few acronyms
19 on this slide. V2G is vehicle-to-grid, for those who might
20 know, and V2B would be vehicle-to-building.

21 With that, you know, we're really going to be
22 looking for your ideas, your concepts about what type of
23 technologies we should develop this program to accommodate
24 to help get those launched.

25 Next slide, please.

1 Okay, so this brings us to the next steps. We're
2 here today at this workshop. And we'll be seeking to get
3 some initial stakeholder input on their requests for
4 information.

5 After that, we'll be exploring what type of
6 deployment we'll be able to adopt, whether it's a grant
7 funding opportunity, potential guidelines. We have some
8 ability to be flexible and innovative with this approach.
9 And the goal is to develop those instruments for
10 administering the program this winter, get additional
11 public feedback, and to have our first incentive dollars
12 out this spring, ideally, to have new assets available next
13 summer. It's a very quick timetable. It's ambitious. But
14 that's what we're going to shoot for as we look for some
15 early deployment of cleaner backup assets for extreme
16 events.

17 So that's kind of the 101 on DEBA at the moment.
18 I can open for other questions.

19 I can also share that as we look at this RFI,
20 some of the questions that we'll be adding to help inform
21 DEBA is a better understanding of where some of the
22 tensions are in the market for some of these technologies,
23 what type of incentive levels would be appropriate to
24 really unlock the space in potential new technologies, and
25 what type of surety folks might need as they're looking at

1 financial investments, and just their own bottom line, to
2 either perhaps replace backup generators with fuel cells or
3 batteries, and really bring some cleaner technologies to
4 support our energy reliability.

5 I spoke a little quickly. But we're open for
6 questions and other feedback or questions from the dais.

7 VICE CHAIR GUNDA: Thank you, Deana. Just wanted
8 to take the opportunity to thank you and Ashley and your
9 entire team for doing an amazing job launching the DSGS
10 Program this summer. And I know it's going to be a lot of
11 work launching this program as well.

12 So just as a kind of a summary clarification, I
13 mean, I'll just state it and let me know if this aligns
14 with what you're thinking.

15 So in terms of DEBA, it's like some of the
16 technologies we fund, you know, especially the gadgets that
17 you mentioned, could be enabling to be a participant in
18 DSPs in the long term; right?

19 MS. CARRILLO: Correct. So if you look at DSGS,
20 or the Demand Side Grid Support Program, that was also a
21 part of the Strategic Reliability Reserve and DEBA, they
22 partner. And the fact that DEBA can help incentivize the
23 purchase or the installation of the actual equipment, DSGS
24 will be there to offset the costs of running or any
25 operating costs to participate in an emergency event.

1 Complimentary that way.

2 COMMISSIONER HOUCK: Yeah, thank you, Deana.
3 That's a lot of -- this is really important. Because I
4 think I've said in a number of different times that I think
5 the distributed energy resource work that we do, combined
6 with the load flexibility and grid upgrades, is going to be
7 some of the most important work that we're going to be
8 doing over the next couple of years. And, you know,
9 looking at this program and the funding and the
10 opportunities here, I think we have a lot of opportunities.

11 But I just wanted to ask, are you also, in
12 developing the program, coordinating, I imagine, with the
13 Commission's DER, OIR? And I know we have high DER grid
14 planning proceeding at the PUC in regards to just
15 interconnection issues, because I know we've been seeing
16 that in different parts of the state. And for things like
17 deployment of electric vehicles, with the V2G and some of
18 the microgrids or other options that may require
19 interconnections, just working with either the IOUs or
20 local governments and making sure that these opportunities
21 are going to be able to be utilized within the short-term
22 timeframes that that we're looking at? So I think that's
23 more of a comment.

24 And then just looking at whether you'll be
25 targeting disadvantaged communities or tribal communities

1 in looking at energy storage or microgrids through the
2 program, will -- is that -- do you have specific targets
3 for those communities, or will you be doing specific
4 outreach?

5 MS. CARRILLO: Yeah, good question. We don't
6 have specific targets established in statute. And so we
7 have some flexibility to have that informed by public
8 comment and, also, our collaboration with both the --
9 sorry, with the PUC, as well as DWR, on kind of where we
10 focus some of these investments. And so we will want to
11 have some close coordination internally, as you've
12 mentioned, between the sister -- the state agencies, as
13 well as getting that input from public comment.

14 We are connecting on the staff level. That
15 interconnection references is important, so thank you for
16 that.

17 And so the answer is, yes, we have a lot of
18 opportunity. That's definitely where we're focused. And
19 we've got some opportunity to shape that now. I think
20 definitely replacing some of the backup generators that are
21 sometimes utilized and extreme events, especially this last
22 September, and they happened to be primarily located in
23 low-income communities, making sure that we can get some
24 clean technologies into those areas will be really
25 important from an equity perspective.

1 COMMISSIONER HOUCK: Thank you.

2 MS. CARRILLO: And I think the next slide brings
3 us to Q&A. And we can open up to Q&A from the public, if
4 there isn't any other questions on the dais?

5 COMMISSIONER MONAHAN: Oh, I just had one, Deana,
6 a comment and a question.

7 First off, my comment is, if it were anybody else
8 pulling together this program and I was looking at that
9 timeline, I would say that's not achievable, but now we
10 know you could do it even faster, so -- which you did with
11 DSGS, so it's pretty impressive. Still a very aggressive
12 timeline.

13 I'm wondering if you could just kind of give us a
14 sense for what size resource or what -- sort of what's
15 the -- kind of household engaged in DEBA? Like, what are
16 you thinking in terms of kind of who is this targeted
17 towards?

18 MS. CARRILLO: Yeah, that's an interesting
19 question. And if I could be so bold to perhaps turn that
20 back to the dais to see what some ideas may be on --
21 because, one, I think we have some flexibility. Two, it's
22 not utility-scale assets that we're looking at, definitely
23 looking for some flexibility on aggregators and other kind
24 of widespread equipment, perhaps, that might make a big
25 difference.

1 But I'd be interested in the dais's thoughts, or
2 to those on the dais, either virtual or in-person, on their
3 thoughts of, you know, where that sweet spot would be for
4 this particular investment? Again, the goal is to
5 incentivize the installation of new equipment or
6 technologies to be relied upon during extreme events.

7 VICE CHAIR GUNDA: Deana, Thank you. I'll just
8 add a couple of things. I think Commissioner Monahan said
9 the first part, I think, you know, just kind of making sure
10 the explicit callouts in the legislation, the explicit call
11 outs are -- there's some supply side explicitly called out,
12 and those include efficiency upgrades at existing power
13 plants. And potentially, to the extent that there is
14 deliverability at existing power plant sites, you know,
15 deploying clean energy solutions, you know, whether it be
16 fuel cells or storage, to increase the capacity. So that's
17 kind of like called out, specifically.

18 And then from technology options, fuel cells and
19 storage were called out specifically, but then the rest of
20 it is really up to us; right? So I think the supply side
21 is constrained to those buckets.

22 And on the distribution side, I think that the
23 thinking here is really, as Deana was alluding to, this
24 came out as part of the Strategic Reserve discussion. And
25 the initial ambition was to make sure, you know,

1 collectively between the \$700 million for DEBA and the \$300
2 million, nearly \$295 million, for DSGS, CEC will be able to
3 put up at least 500 megawatts, right, five 500 megawatts to
4 1,000 would be the upper limit of the ambition.

5 So I think the way we are looking at is, when we
6 look at the distribution side, the initial -- I mean the
7 discussion changed over time. But the preliminary
8 discussion was maybe to just, you know, take into account
9 that a number of these backup generators will be there no
10 matter what; right? Whether the grid is reliable or not,
11 the backup generators are there. And to the extent that we
12 want to rely on them, can we decarbonize them and clean
13 them, and even from a quality perspective, and then unroll
14 them into a DSGS Program for long-term benefit to absorb
15 volatility.

16 And the thinking has since changed a little bit
17 from, you know, over the discussions. So I think now there
18 is an interest in really thinking through deploying clean
19 options and gadgetry that would enable the deployment of
20 these clean resources. Specific interests have been on the
21 water agency side, I mean, given how much they've supported
22 this, this summer, and the opportunity that exists.

23 Similarly, on the ag side, it could be, you know,
24 incentives through the DSGS, but paid with some grants to
25 meet potential controls.

1 So all of that is on the table. And at this
2 point, we're thinking through, how do we summarize them?
3 How do we put those options on the table for public
4 consideration and move that forward?

5 I don't know if that answers the broad strokes of
6 the conversations we had.

7 COMMISSIONER MONAHAN: Thanks, Vice Chair.
8 That's really helpful. I mean, it seems like these are
9 good questions for the stakeholder community, too, around
10 should we focus on aggregators versus individuals? Because
11 I just think that there's going to be so much cost
12 associated with individual households, that, really, we
13 want to think about what's the right amount of aggregation
14 that makes sense.

15 But I could envision, you know, we have some
16 projects with school buses, V2G, certain classes of
17 vehicles or segments that we would want to just cultivate
18 from an early stage to see what could be achieved over the
19 long run, so sort of almost like test cases for where we
20 see a possible big amount in the future but maybe not so
21 much the summer.

22 MS. CARRILLO: Yeah. I appreciate those comments
23 if we could go to the -- oh, and I'm sorry, Commissioner
24 McAllister, it looks like you've got your hand raised.

25 COMMISSIONER MCALLISTER: Yeah. I guess I wanted

1 to say that I think this is a really great approach. I
2 mean, I think, you know, we're at the front end of this and
3 are -- have kind of a preliminary structure for our
4 thinking, and we definitely want feedback on that.

5 I guess I will add, I have a comment and a
6 question.

7 You know, when we talk about aggregators, to some
8 extent, their success, and therefore what we would kind of
9 pay for really, in terms of, you know, capacity kind of
10 depends on the details really matter. And one of those
11 details is how do we -- you know, what requirements do we
12 impose on these investments? What conditionality do we
13 impose that ensures that we're measuring properly and that
14 we're showing what turned up, you know, well?

15 And so to this, you know, we're going to work
16 through aggregators, there needs to be a very well
17 established protocol, right, for how -- you know, what --
18 are we paying for equipment? Are we paying for capacity?
19 And if it's the latter, certainly, how are we measuring
20 that and how do we do that in a way that kind of jives with
21 the marketplace in a fair way?

22 So I kind of wanted to just put those issues on
23 the table, because I agree with some of the commenters,
24 obviously. I mean, this is something, you know, I and many
25 others have been working on for many years. How do we

1 unlock the demand side flexibility? And Commissioner Houck
2 is a wonderful partner, and others at the PUC, on these
3 discussions to put these new solutions in place.

4 So, you know, this is a great opportunity to kind
5 of prove some of that out and begin to grow that
6 marketplace in a substantive way.

7 So, I guess, how much thinking have you gotten
8 about sort of what those sorts of resources would look like
9 in terms of a procurement?

10 MS. CARRILLO: Yeah, good question. So I think
11 the power of that, of aggregation, you know, came to the
12 forefront when we were developing the Demand Side Grid
13 Response Program or Grid Support Program over the summer,
14 very quickly. And so -- and part of the complexity around
15 aggregation and planning at the local utility level rose at
16 that time, and so the initial thought was, due to that
17 complexity with the different market actors, that we needed
18 some more time to explore that.

19 So that's what we're doing now, both with the
20 Demand Side Grid Response Program -- Grid Support Program
21 where that program offers payments for load reduction
22 during extreme events. And we'll be pulling that through
23 and continuing to grapple that through DEBA.

24 So I guess that the short answer is we've started
25 working on it. The timeline has been pretty quick. And so

1 we'll really be seeking some feedback from folks, not only
2 during this workshop, but I think this workshop will help
3 inform the requests for information that we're putting out
4 and refine some of our questions to dig a little deeper
5 through the process as we get responses in November.

6 And, you know, it did speak really quickly.
7 Maybe if we could look at that timetable again?

8 And, Commissioner Monahan, you did raise the
9 issue that this is ambitious. And I want to acknowledge
10 that, that this is a goal that we are -- you know, we know
11 that we're going to have additional extreme events in our
12 future. And we want to be able to invest, you know, make
13 investments, so that we have assets to call upon next
14 summer. But this is just getting the program rolled out.

15 And one of the other elements that we want to do
16 is be able to provide stability for the market on these
17 incentives so that they can make both short term, midterm,
18 and some longer term investments and really count on it.
19 So balancing those, it's going to be a balance, and that
20 balance isn't always easy, so I look forward to those
21 comments.

22 VICE CHAIR GUNDA: Deana, I just want to make
23 sure I asked for this clarification. And, you know, this
24 is an opportunity to, for us to have this conversation,
25 which we're doing because of the big issues.

1 The DEBA is kind of like limited to the --
2 limited to actual material investments; right? I mean,
3 just want to make sure that we're on the same page on that,
4 that it's like either, you know, providing incentives for
5 actual equipment or controls and such, and then the DSGS
6 will then marry the DEBA investments under an agreement to
7 bring them into, potentially, an energy payment as needed
8 for participation in grid support? So just wanted to make
9 sure of that.

10 MR. ERNE: Yeah. Yeah.

11 VICE CHAIR GUNDA: Okay. And I wanted to ask
12 that to Deana, too.

13 So, Deana, am I missing that? We're good? I
14 mean, that is actual equipment; right?

15 MS. CARRILLO: Correct.

16 VICE CHAIR GUNDA: Yeah. Linda is shaking her
17 head, yeah. Okay.

18 COMMISSIONER MCALLISTER: I mean, I guess the
19 reason I ask the question is just, you know, there are --
20 we don't want to be out there subsidizing equipment that
21 then doesn't actually serve our needs; right? So we --
22 there's -- I mean, yeah. So, you know, when we put in
23 place, you know, these parallel programs that are
24 complementary, we need to sort of build that in, that they
25 actually are complementary in practice.

1 VICE CHAIR GUNDA: Yeah. Commissioner, I think
2 the idea would be whatever we invest, and correct me if I'm
3 wrong, Deana, whatever we invest in DEBA would have some
4 sort of an agreement to be a part of --

5 COMMISSIONER MCALLISTER: Yeah.

6 VICE CHAIR GUNDA: -- the emergency --

7 MS. CARRILLO: Yeah. So there will be -- there's
8 a statutory requirement that any assets, equipment,
9 investments that we make for DEBA, that they are required
10 to show up for the demand response moments, or the extreme
11 heat event moments. You know, I think we will put legal
12 provisions in there to make sure that there's both, at the
13 end, that there's a carrot and a stick in that, using that
14 colloquial language, in that when we make the investment,
15 that there is a requirement to be there when we call upon
16 folks.

17 COMMISSIONER MCALLISTER: Okay. Great. Thanks
18 for that.

19 MS. CARRILLO: But that language isn't drafted
20 yet. And I'm sure we'll get lots of feedback.

21 COMMISSIONER MCALLISTER: And, you know, we want
22 to avoid contested ground, I guess, is what I'm saying, you
23 know, like people -- yeah, we need to be just very clear,
24 and then help people those expectations --

25 MS. CARRILLO: Yeah.

1 COMMISSIONER MCALLISTER: -- beyond that.

2 Thanks.

3 MS. CARRILLO: Thank you.

4 VICE CHAIR GUNDA: And, Commission McAllister,
5 just another thing, if you have thoughts on this, I think
6 the DSGS Program, you know, we kind of pursued two types of
7 incentives this year, that kind of is a sister program to
8 this, basically kind of providing an energy payment
9 outright for, you know, energy savings, and including a
10 second pathway, we provided a standby, as a way to make
11 sure we make people whole.

12 But Erik Lyon in our office has been taking point
13 on constructing kind of a third track of market integration
14 and making it easier for participation. So I think you
15 made this point several times, which is, you know, we want
16 to make these investments in a way to not get into
17 emergency rather than responding in an emergency, so I
18 think that's actively being thought, but any thoughts you
19 might have on that would be helpful.

20 COMMISSIONER MCALLISTER: Great. For sure, yeah.
21 Yeah, much more to talk about here, but that was a great
22 start.

23 MS. CARRILLO: Great. Then I think we can open
24 up to Q&A, or questions and comments from the public on our
25 initial thoughts.

1 MR. ERNE: And, Deana, we have several within the
2 room. They're getting ready to tee up. Go ahead.

3 MR. DAY: Hello. My name is Michael Day and I'm
4 speaking in a personal capacity. Two points to bring up.

5 One is for DEBA, in a lot of deployments here,
6 local support is going to be really important. But it's
7 interesting because you're going to end up having two ends
8 of the spectrum there. At one end, you could have it's
9 required to have a local government apply for the funds.
10 That's great, but it actually brings up another problem.
11 And the other problem is, is that because they're typically
12 going to be partnering with a commercial company to do
13 that, you end up needing an agreement between the local
14 government and the commercial company that can be difficult
15 to put together, particularly on a fast timeframe.

16 So that, a true public-private partnership for an
17 energy installation, can take a while, and so it may end up
18 precluding some local communities from participating,
19 particularly those that are relatively under resourced.

20 At the other end, you could have a commercial
21 company saying, oh, we've got all these great assets, and
22 they've got no participation with a local government,
23 they've got no local buy-in, yet they're saying that
24 they're going to operate a microgrid that benefits the
25 community. They may not be in alignment.

1 I think one of the things that could really help
2 DEBA be good is if it did have some mechanism for either
3 requiring or giving an advantage to those -- to projects
4 that are proposed that can demonstrate local government
5 support, but maybe not all the way to be needing to be a
6 financial partner, and have local government already have
7 that public-private partnership in place. So at some
8 point, in between the extremes of the spectrum, could be
9 helpful.

10 The second part is in terms of being there, when
11 required, absolutely, that's where everybody wants to be.
12 That's where you think it's going to be. But just keep in
13 mind that there are going to be a lot of situations where
14 the distribution system operator is going to, particularly
15 when you get to microgrids, the DSO is going to have
16 control over the dispatch and the scheduling.

17 And so if the DSO says, we have this many
18 megawatt hours or this many kilowatt hours, and they're
19 dispatching it at a certain time that doesn't coincide, and
20 the equipment responds and they've done what they were
21 ordered to do by the DSO, that can't be held against the
22 parties that are participating in DSGS or in DEBA.

23 Thank you.

24 MS. CARRILLO: Great. I appreciate your comment
25 and in your question.

1 One clarification is that there's no local
2 government requirements for this program. It's open to all
3 entities, but always encouraged.

4 Other questions or comments in the room, David?

5 MR. JOHNSON: Hi. Kurt from the Climate Center,
6 just following up on Mike's comments.

7 Yeah, I mean, if these programs are going to
8 succeed, they're going to necessarily need to have local
9 government buy-in. And one of the huge missing gaps
10 currently in the California State Energy Policy is
11 systematic support to local governments, community-based
12 organizations, in planning what the DER buildout looks like
13 in their community, questions like: Well, where could the
14 funds from that come from?

15 Well, you know, there was lots of different
16 buckets. As a matter of any project development, there's
17 typically sort of a project administration/soft cost
18 element of any total project costs. That must go to local
19 communities, local CBOs, to help plan these things for
20 buildout. So that seems like a no brainer decision for all
21 the DER Programs.

22 Following up on Commissioner Houck's comment
23 about like what should the disadvantaged community carveout
24 be? Well, there's benchmarks. We have state law that, you
25 know, previously was 25 percent, but the Biden

1 Administration came up with Justice40. The recent
2 allocation of \$900 million for new SGIP money, I think the
3 legislature said that 70 percent of those funds, of new
4 SGIP funds, including storage, should go to low-income
5 communities. So if the legislature has just said, we think
6 70 percent of this should go to disadvantaged communities,
7 it'd be sort of shocking if that PUC came up with anything
8 less than that.

9 So thank you.

10 MR. ERNE: Thank you. So that was the last
11 questions in the room, so Deana will move to questions from
12 Zoom.

13 Chie?

14 MR. YANG: We have two questions on Zoom.

15 First one, "Can programmable thermostats be
16 included as DEBA resources?"

17 MS. CARRILLO: They're definitely potentially
18 eligible. I think the program design, we're still
19 exploring. As you look to what types of technology
20 technologies should be eligible, we'd love to get those
21 comments.

22 MR. YANG: Second question. "Can fossil fuel
23 generators participate in any way, such as in connection
24 with batteries or as part of a microgrid?"

25 MS. CARRILLO: Yeah, good question. One of the

1 statutory requirements for DEBA is that it is zero emission
2 or low emission. We're anticipating the low-emission
3 technologies to include perhaps, fuel cells. So natural
4 gas, so we will see, but I think it's precluded from
5 statute, is my off-the-cuff response.

6 We're actually hoping that DEBA does the opposite
7 and helps you replace some of those backup generators with
8 zero-emission technologies. Another option could be to
9 replace those backup -- just the fuel from those backup
10 generators to perhaps run off renewable diesel. Just an
11 idea that I've been pushing around a little.

12 MR. ERNE: Those are all the questions.

13 Is there anybody who has their hand raised,
14 Brian?

15 MR. SAMUELSON: Robert Perry, you're able to
16 talk?

17 MR. PERRY: Yeah. Hi. Can you hear me?

18 MS. CARRILLO: We can.

19 MR. SAMUELSON: Yes.

20 MR. PERRY: Okay. Great. Thanks for the
21 discussion. These are all very important topics. I've
22 been, you know, attending a panoply of proceedings and
23 workshops, all having important discussions.

24 The one thing that always sticks in the back of
25 my head are all these really ambitious goals that have been

1 placed, most recently in July, on July 22nd. Governor
2 Newsom is targeting 3 million climate-ready and climate-
3 friendly homes by 2030, 7 million of those homes by 2035.
4 This is incredibly ambitious. And given that housing
5 really intersect with a wide variety of state goals, such
6 as equity, environment, transportation, and energy, I think
7 we need to be mindful of, you know, and have a sense of
8 urgency of implementing these distributed technologies as
9 these new construction developments start happening.
10 Because new construction is the optimal paradigm. It's got
11 the least amount of incremental costs associated with
12 deployment of distributed resources.

13 So I would urge everyone to think of what we're
14 doing and, you know, continually ask ourselves, is this
15 really moving us to the goal, and can we pick the low
16 fruit, like new construction and demand flexibility, to
17 satisfy our immediate needs in a manner that is not
18 wasteful, you know, and that that doesn't risk stranding of
19 assets and such?

20 So, again, we have extremely ambitious goals.
21 And we really -- the train -- the housing train is leaving
22 the station. I mean, they're throwing up, you know,
23 hundreds of units all over the state and we really should
24 be trying to develop policies so that those newly
25 constructed assets don't have deferred maintenance already

1 cooked into it because they're going to have to come back
2 and retrofit and rewire.

3 Thank you.

4 MS. CARRILLO: Thank you for your comment.

5 MR. SAMUELSON: Cal SSA, who are able to talk?

6 MR. HEBNER: Hello. Good afternoon. It's Brian
7 Hebner with the California Solar and Storage Association.
8 Thanks for this discussion.

9 I'm following up on the discussion about
10 performance requirements. We agree that there should be
11 very strong performance requirements that are verifiable
12 and enforced. But we're concerned that it sometimes gets
13 intertwined with CAISO market integration, which is not the
14 same thing and has been a huge barrier for storage in being
15 able to export, for behind-the-meter storage exporting.
16 And it's just so limiting to have to predict customer load
17 and holding back what you can do with the battery.

18 And we can do so much more if we're allowed to
19 export. And that's just been a barrier with CAISO market
20 integration. We'll continue to work with CAISO on that,
21 but it could take some more time before that happens. And
22 in the meantime, we have to build a lot of resources.

23
24 So it can be market following. It's not hard to
25 figure out the trigger, it could be an economic trigger,

1 following the market, that that is sort of isolated, or it
2 could be emergency dispatcher, or a combination of the two.
3 And it even without RA in the current year, it shapes RA
4 needs in future years, such as cost savings, and reduces
5 real-time energy purchases, not to mention, you know, helps
6 avoid blackouts. So if we don't do this, then we, you
7 know, we continue to have RA that's higher, RA needs that
8 are higher than they need to be year after year. And so we
9 can build these resources without being market integrated.

10 The verification is, you know, is a challenge,
11 just in terms of integrating dataflow. So we shouldn't
12 underestimate that, that just getting the metering and the
13 data analysis integrated will be something that we're going
14 to have to spend time doing, but it's not unsurmountable.
15 And the trigger, again, also, is very solvable.

16 So I think it would be a huge mistake to just
17 have the programs to be capacity payments only. There
18 needs to be capacity and energy payments. And we're happy
19 to work with the Commission on getting the numbers right.
20 We have a great opportunity right now with new CEC-led
21 programs that are funded to do a dispatch program that has
22 both capacity and energy payments.

23 Thank you.

24 MS. CARRILLO: Appreciate your comment.

25 VICE CHAIR GUNDA: Thank you so much.

1 Oh, go ahead. Go ahead, Deana.

2 MS. CARRILLO: Go ahead, Commissioner.

3 VICE CHAIR GUNDA: No. I was going to just
4 welcome you or Erik, Erik is in the room, to see if there's
5 any comment from you both, so thank you.

6 MS. CARRILLO: Yeah. I just wanted to say thank
7 you for your comment. You know, one of the opportunities
8 we're providing with this Request for Information is the
9 requests for stakeholders to articulate those barriers and
10 challenges to broader adoption growth. So whether that be
11 issues with CAISO or other market barriers, you know, we're
12 not just looking for the right sweet spot on a financial
13 incentive, but rather within the whole perspective and the
14 whole ecosystem, where are those challenges? Because just
15 because we have a hammer doesn't mean everything's a nail.
16 Not everything is a question about money but, really, it's
17 removing challenges and removing barriers.

18 And so that Request for Information is really
19 asking stakeholders and industry experts to identify where
20 those challenges are, because it might not be -- as you
21 say, it's not always a financial response. You know, there
22 could be other ways that we could coordinate.

23 And then, David, I'm not sure if you have
24 anything to add to that?

25 MR. ERNE: No, I think I'll let Erik respond.

1 MR. LYONS: Okay. Can you hear me now?

2 MR. ERNE: Yeah.

3 MR. LYONS: Yeah. I just wanted to say, this is
4 Erik Lyons from Vice Chair Gunda's Office.

5 I just wanted to say, we're absolutely thinking
6 about that. We recognize market integration is a
7 challenge. We want resources that the CAISO feels that
8 they can depend on. And so I really am going to be looking
9 for feedback and input from our friends and colleagues at
10 ISO.

11 But just to let you know that this is a concern
12 that has been raised and we're thinking very closely about,
13 and we want to make sure that it does get addressed.

14 MR. ERNE: Any other raised hands?

15 MR. SAMUELSON: Kate Unger, you're able to talk.

16 MS. UNGER: Hi. This is Kate Unger with the
17 California Solar and Storage Association. And I am really
18 interested in everything that you all are doing. It's a
19 big chunk of work to chew on. And I appreciate all the
20 efforts.

21 For this part of the workshop, you're focused on
22 DEBA. I think we were all recognizing that the legislature
23 expressly provided for DEBA and DSGS to work hand in hand,
24 so I'm thinking about both. And also wanted to speak to
25 comments from the dais during this workshop.

1 First, I did want to note, a great way to
2 leverage DEBA funding is to take advantage of the potential
3 for deploying behind-the-meter batteries to store and
4 dispatch clean energy from the already existing 13
5 gigawatts of rooftop solar installed in California. It
6 makes a lot of sense to center storage because it can help
7 address the duck curve by shifting that existing solar
8 production.

9 I also wanted to say, it's really crucial to keep
10 in mind that battery storage is not just one way to do
11 demand response. There are substantial differences. And
12 programs for storage should be designed for those
13 differences in mind. And this sort of a refrain you're
14 hearing from us now, the recognition that battery
15 technology allows for exported energy to be included. And
16 going back to things that Brad Hebner has said, but also I
17 think came from the dais, the DSGS guidelines allow
18 specifically for exported energy to be compensated. But
19 that option three pathway with the capacity payment and
20 market integration cuts off that ability to get
21 compensation for the exported energy, so it works at cross
22 purposes by requiring market integration.

23 And then, finally, I'm interested to hear you say
24 that some resources incentivized through DEBA can
25 participate in programs other than DSGS, such as ELRP. As

1 I read Public Resources Code section 25792(c) in DSGS, it
2 seems pretty clear that DSGS participation is required.
3 And I'm curious if you interpret that provision as not
4 applying to all resources incentivized through DEBA? And
5 if so, how you do interpret it and what flexibility is
6 enabled there?

7 Thank you very much.

8 MS. CARRILLO: Thank you, Kate. And I may have
9 gotten ahead of myself there. There's still some exploring
10 to do related to DEBA and DSGS and whether, if a technology
11 is in an IOU territory, and how that ELRP and DSGS Programs
12 complementing each other. We're trying to complement but
13 not develop unintentional redundancies, so thank you for
14 catching that. I think if I was probably in the room, my
15 legal counsel might have kicked me under the table, so we
16 we'll get back to you on that clarification.

17 VICE CHAIR GUNDA: Yeah, they're all nodding and
18 smiling. There's plenty of work to do. Thanks, Deana, for
19 kind of commenting on that.

20 I think to the extent that there is some
21 unforeseen pathway to collaborate with ELRP and leverage, I
22 think we would want to keep that on the table. I think
23 that's the spirit of what Deana was trying to say.

24 But you're right, Kate, on what you noted. Thank
25 you.

1 MR. SAMUELSON: Ben Schwartz, you're able to
2 talk.

3 MR. SCHWARTZ: Yes. Can everyone hear me?

4 MR. SAMUELSON: Yes.

5 MR. SCHWARTZ: Okay. Great. Thanks. My name is
6 Ben Schwartz. I'm the Policy Manager with the Clean
7 Coalition. And I just would like to make a short comment
8 that's following up with what Robert Perry said about low-
9 hanging fruits, and you know, maximizing the value of
10 solutions, community solutions, I suppose.

11 And just that schools provide a great location
12 for clean solar and storage resources, including
13 microgrids. The Clean Coalition helped facilitate solar
14 and storage and microgrids at the Santa Barbara Unified
15 School District. And our partner for that project, NG
16 (phonetic), also more recently helped equip the Chula Vista
17 School District with solar and solar-plus-storage. And I
18 think that's a great dovetail between local governments and
19 potential dispatchable clean energy for the People program.

20 Thank you.

21 VICE CHAIR GUNDA: Ben, thank you for raising
22 that. I think I just want to comment on that one.

23 I think, yeah, there is a lot of comments we've
24 received, and just kind of over the last two to three
25 months, is to just the support for the local government

1 facilities, state government facilities, but also the water
2 agencies and such. I think there is a -- I would love to
3 get this in comments. And we should probably follow up on
4 meetings. You know, the comments that were made here, in
5 terms of, you know, let's assume we put a large battery
6 pack or some other resource that can, you know, both
7 provide energy back to the grid or just, you know, a load
8 follow or be a load modifier, right, it really depends on
9 what time do we need, if it's a 4:00 to 9:00 p.m., and if
10 we do not put the energy back on the system, and if it's a
11 certain facility, there is no load to really load follow or
12 load shed during the time, it becomes complicated; right?
13 So it becomes an asset that's not really being helpful
14 during the grid emergency.

15 So we need to think through how do we look at
16 different sites, you know, the energy usage patterns,
17 especially the 4:00 to 9:00, and whether load following
18 itself can solve the problem, and the market following
19 itself can solve the problem, or if a certain investment
20 would require us to put the energy back on the grid to
21 really get support from the grid?

22 So I just wanted to put that out for discussion
23 amongst ourselves and, you know, love to hear comments on
24 that.

25 This goes to, you know, funding former loads, as

1 well, right, and former generation, as well, like a fuel
2 cell that might not be able to really go up and down in
3 terms of ramping. You know, certain technologies can,
4 certain technologies can't within fuel cells. How do we
5 think about that in terms of investments would be really
6 helpful?

7 Thank you.

8 MR. SAMUELSON: Dan See, you are able to talk.

9 MR. SEE: Hello. Can you hear me?

10 MR. SAMUELSON: Yes.

11 MR. SEE: Hi. I worked in energy for seven
12 years, up until a few years ago, and it really opened my
13 eyes to the needs of the state and/or, you know, globally
14 in the fight against climate change.

15 I've heard very little concern. I know there is
16 a focus on clean energy in these talks. But every time a
17 nuclear plant is shut down, gas emissions rise. That can
18 be seen at numerous times throughout both the country and
19 globally. California last year got 50.2 percent of its
20 energy in state from natural gas. I have heard nothing in
21 these talks -- I've heard about reliability, which is
22 obviously a concern providing reliable electricity, but
23 I've heard nothing ensuring or done any sensitivity
24 analysis to ensure that we are in a better place in 2030,
25 or 2035, or 2040, than we are today or were last year.

1 It's very concerning to know that, you know,
2 we're faced with the shutdown of the Diablo Canyon when the
3 IPCC shows an expansion of nuclear in all of its climate
4 modeling scenario, that California is going the other way,
5 you know, attempting to go the other way, to shut down a
6 nuclear plant, a safe, clean, reliable, cheap nuclear power
7 plant. The International Energy Agency shows long-term
8 operation of nuclear as the very cheapest energy source
9 there, is the very cheapest.

10 So keeping Diablo online is guaranteed, for as
11 long as it's possible, as long as it's safe, is guaranteed
12 to be a cheaper option for reliability than cobbling
13 together whatever we can manage with and get through
14 permitting, get through -- create all these new policies,
15 et cetera. Diablo Canyon, keeping it online as long as
16 possible, is going to be our best path forward.

17 You guys at the Energy Commission are not
18 policymakers. You don't pass laws. But you are the ones
19 that inform the people that do. So you can't take your
20 hands off and say, well, it's the legislators that's --

21 VICE CHAIR GUNDA: Dan, you accidentally muted
22 yourself.

23 MR. SEE: At what point?

24 MR. ERNE: When you're saying CEC doesn't make
25 the policy but we work with legislators, and then it cut

1 out.

2 MR. SEE: Okay. Sorry about that.

3 Yeah, the CEC doesn't make the policy,
4 necessarily, but you are heavily influencing it. And you
5 know, per everything on your website, that's your role;
6 right? You are the ones that are guiding policy in this
7 realm. The legislatures, legislative people, they don't
8 have the background in this to really know, to really know,
9 what's going on. You guys do and you should. So they need
10 to be informed by somebody in the know. And hopefully
11 they'll listen to you.

12 VICE CHAIR GUNDA: Yeah.

13 MR. JOHNSON: Thank you.

14 VICE CHAIR GUNDA: And thank you. Thank you for
15 those comments. I think, you know, you probably followed
16 the workshop that CEC held on Diablo a few months ago. We
17 had been asked by the Governor's Office to do so. And as
18 you note, we have, in those presentations, showed that, you
19 know, having Diablo could have multiple benefits, including
20 reduction in gas, you know, gas usage; right?

21 So I think we recognize the value of a clean firm
22 resource, like Diablo, on the basis of both reliability,
23 but also, you know, the zero-carbon nature and the emission
24 standpoint. But I think as you know, there are multiple
25 considerations for the state, including, you know, safety,

1 you know, local agreements that have been made over time,
2 whatever that might be.

3 So I think to the extent that, you know, CEC is
4 going to do analysis, we always consider them. And as we
5 mentioned earlier, both in the analysis that we've put out
6 earlier this year, and then continue to do so, we will do
7 those analyses. But I think, you know, to the extent that
8 the policy of specifically nuclear is beyond just the clean
9 nature of it, but also safety and many other considerations
10 that the state has, including the ocean impacts and all, I
11 think it's a conversation beyond just a CEC.

12 So, yeah, we would continue to do our analytical
13 part, but I think that's where the cutoff is. This is a
14 much broader conversation for the state.

15 MR. SEE: Am I still on?

16 MR. SAMUELSON: Yes.

17 MR. SEE: Okay. Yeah. So I mean, Diablo was
18 supposed to shut in 2024 and 2025. And the turnaround has
19 been largely because of you, I assume. I work with a
20 number of people at a grassroots level, raising awareness
21 of energy and Diablo and the importance of it. Ultimately,
22 I assume it probably came from you and other, you know,
23 like 3CE (phonetic), I think it is, if I've got the name,
24 right. But analysts that sort of put this, you know, put
25 this before the Governor and got things turned around to

1 extend it at least the five years. But there's no way that
2 in five extra years that we're going to be, with pushing
3 gas out of homes for electrification, to reduce emissions
4 that way, and to reduce emissions in transport by, you
5 know, hydrogen and fuel cell vehicles and electric
6 vehicles.

7 We're going to increase the electric demand and, thus,
8 ensure the continued use of gas because it's cheap and it's
9 easy and the infrastructure is already in place. We don't
10 have to expand the grid to do it.

11 So what assurances and what -- you know, I think
12 all the options need to be on the table, including an even
13 further extension of Diablo as an option. It needs to be
14 looked at. It needs to be considered early, as early as
15 possible.

16 Thank you.

17 VICE CHAIR GUNDA: Yeah, thank you, Dan. Thanks
18 for your comments. Noted. We please request you to put
19 them in kind of our docket, too. Thank you.

20 MR. SAMUELSON: Ryan Pickering, you are able to
21 talk.

22 MR. PICKERING: Thank you, everyone.

23 I want to echo the last caller in the urgency of
24 Diablo Canyon, you know, and the importance for clarity
25 moving forward.

1 I wanted to pose to the group, it has been
2 established by the Governor's Office that the coastline
3 that the nuclear power plant sits on is the ancestral
4 homeland of Yak Tityu Tityu Yak Tilini, known locally as
5 YTT. They have written open letters to the Governor, and
6 I've talked with the local newspapers, and I am wondering
7 if the CEC has asked for their input about what should
8 happen at the future of Diablo Canyon powerplant?

9 Thank you.

10 VICE CHAIR GUNDA: I'm going to just respond to
11 that, Ryan. Thank you. I know the letters were docketed.
12 You know, we have been able to get feedback from the tribe.
13 Thank you for that. And similar to my comments on the
14 previous -- or on Dan's comments, you know, noted. Thank
15 you for your information and input there. Thank you.

16 MR. PICKERING: You're welcome. And thank you
17 for centering indigenous voices. It is part of the CEC's
18 mandate for equity.

19 And I will remind the group that, in 1985, there
20 was a plan to build six reactors at Diablo Canyon. And
21 there is no physical reason why an action like that cannot
22 happen in the future of California. And I will docket my
23 comments. And, of course, it would be up to the broader
24 voting public of California. But it is important in this
25 climate crisis to keep all of our clean energy resources on

1 the table.

2 Thank you.

3 VICE CHAIR GUNDA: Thank you, Ryan.

4 MR. SAMUELSON: Anne Hoskins, you are able to
5 talk.

6 MS. HOSKINS: Hi. Yes. Hello, everybody. It's
7 Anne Hoskins from Generac Energy Technology. And we also
8 now also, now also Ecobee.

9 So I wanted to talk a little bit about
10 thermostats and, specifically, the opportunity that I think
11 was opened up by the legislature at the end of the session
12 to make it easier for customers to use their thermostats to
13 participate in emergency response programs. Prior to that,
14 you had to have been signed up. If you were in a utility
15 territory, you had to be signed up for utility ELRP
16 Program, and that really greatly restricted the use of
17 those resources, you know, whenever, September 6th, or the
18 date that we keep referring to.

19 And so I just wanted to know what the plan is for
20 getting it clarified that customer -- or residents who have
21 thermostats will be able to share their resources and
22 participate in demand response programs outside of the
23 utility program, and when the CEC believes we'll get that
24 change in place so we can all plan and educate our
25 customers to participate? So that's question number one.

1 And the other point I just, I want to make is, I
2 think in response to Commissioner Monahan. You know, I
3 have a history prior to coming to Generac. I've been
4 working on distributed resources for a number of years.
5 And I just think we have such an untapped potential to
6 really use those batteries that have been implemented, to
7 encourage batteries, and to use third-party aggregators.
8 Generac does have a grid services business, formerly Embala
9 (phonetic). And you know, it's -- I just want to clarify,
10 it sounds like technologies like that will be eligible for
11 DEBA, but if that can be confirmed, that would be very
12 helpful.

13 But I think, you know, finding a way for us all
14 to encourage use and aggregation of those storage and solar
15 assets is really significant and largely untapped.

16 Thank you.

17 VICE CHAIR GUNDA: Thank you, Anne. Just in a
18 way of responding quickly to this, I think there's a DEBA
19 workshop that's going to be, look forward to engaging with
20 you there. And also, for the DSGS portion, there is
21 ongoing work and public process to enhance the existing
22 programs, so look forward to engaging you there as well.

23 MR. SAMUELSON: Dylan McAuliffe, you are
24 available to talk.

25 MR. MCAULIFFE: Thank you very much. My name is

1 Dylan McAuliffe. I'm Director of Policy in New Markets for
2 Solar Landscape. We're a rooftop installer and developer
3 of community solar projects, so the low- to moderate-income
4 communities, and have put 30 megawatts online, serving
5 currently in the community solar programs around the
6 country. Thanks very much for the opportunity to speak.

7 I'm here to speak about the funding being
8 allocated towards community solar paired with storage. I
9 think technology available can enhance the local and
10 systemwide reliability issues. And it's consistent with
11 the priorities of equity and environmental justice for low-
12 income residents and disadvantaged communities. The
13 state's, you know, existing programs and the future
14 programs that are being planned all, you know, sort of
15 support that and have elements to deserve in that capacity
16 as well.

17 I want to speak specifically as a
18 developer/installer who is currently -- we're currently
19 installing about 50 megawatts. They're in various stages,
20 permitting, procurement, and installation, in multiple
21 states. So I just, I wanted to speak to, basically, the
22 ability to deploy solar with storage, you know, in a time
23 efficient manner to meet the goals of this funding.

24 I can say that, you know, with all those projects
25 that we can -- we're handling issues as they relate to

1 change and inflation issue. And that shouldn't keep us in
2 the way of deploying. I think if, you know, some of this
3 funding can be used to implement programs that can be, you
4 know, deployed community solar and storage technology, we
5 would we, you know, and other developers would probably be
6 able to get a product online in '24, from a timeframe
7 perspective. We have, you know, sites located in
8 disadvantaged communities with partners where we can host
9 products.

10 So you know, in terms of, you know, being able to
11 deploy where it needs to be deployed and deploy it and, you
12 know, the value of having storage in reliability in those
13 areas (indiscernible) of other technologies, you know, they
14 would be able to answer to that. And then we think we
15 could that, like I said, in a desirable timeframe.

16 I just wanted to share that information and I
17 appreciate if you can consider it. Thanks a lot.

18 MR. SAMUELSON: Allie Detrio, you are able to
19 talk.

20 MS. DETRIO: Hi. Can you --

21 VICE CHAIR GUNDA: Before the next person --
22 Allie, before you jump in, can I just ask, if the rest of
23 the hands raised are comments, we could probably move into
24 the comment period. Unless anybody has specific questions,
25 I would like to move into the comment period. It looks

1 like a lot of these are comments.

2 Allie, do you a question or a comment?

3 MS. DETRIO: It was going to be a comment. Thank
4 you, Commissioner. Yes, we thought we were at the comment
5 section already.

6 VICE CHAIR GUNDA: Okay. Yeah, I think we slowly
7 merge that path here.

8 So if everybody's okay, I'm going to move towards
9 comment, and then we'll just take the last few comments
10 here.

11 MR. MCAULIFFE: Yeah, excuse me for that. You
12 can file mine under the comment section, so thanks again.

13 VICE CHAIR GUNDA: No problem, Dylan. Thank you.

14 So if we can move the slides to comment period
15 and we can just go into them? Thanks.

16 MR. SAMUELSON: So, Allie, you can go ahead and
17 go to comment.

18 MS. DETRIO: Great. Thank you. Hi. Allie
19 Detrio, Senior Advisor to the Microgrid Resources
20 Coalition. We're the original nonprofit association
21 representing the microgrid community with developers,
22 customers, communities, investors, and others interested in
23 the deployment of microgrids and policies and regulations
24 that can help support their rapid scaling and deployment.

25 One, I just wanted to thank the Commission for

1 their -- this program and allocating so much funding to it.
2 Microgrids look to be clearly eligible for the programs,
3 we're really grateful for that, and the opportunity to show
4 that microgrids can provide the flexible capacity,
5 reliability, and resilience benefits to the states, in line
6 with our climate and emissions goals.

7 I did just want to reemphasize some of the points
8 that were made earlier about the need for a robust market
9 signal so that these resources, and microgrids in
10 particular, can provide the capacity and/or the demand
11 management or other services that are needed during these
12 60 or so hours a year when we really have these reliability
13 challenges, but also that we're maximizing the value of
14 these investments by ensuring that the market signal is
15 there and that these resources can provide grid services
16 and other benefits in both blue sky and black sky
17 conditions. And that will allow us to scale these
18 technologies much more broadly and ensure that they are,
19 you know, really being utilized to the maximum benefit of
20 ratepayers and taxpayers in the state.

21 So to the comments about CSSA suggesting that
22 these resources have a market following signal, but not
23 necessarily need to interconnect through CAISO, I think
24 it's crucially important. And that will allow us to go
25 through the interconnection process much faster and get

1 these resources deployed in a much more expeditious manner.

2 So just really wanted to reemphasize the need for
3 the robust market signal to make sure that these resources
4 are maximizing their value and reaching their full
5 potential.

6 And, again, thank you to the Commission for
7 standing up this program. We look forward to being
8 involved.

9 MR. ERNE: Thank you, Allie.

10 We have one in person before we go to the next
11 ones in line on Zoom.

12 MR. THEISEN: Good afternoon, Commissioners.
13 Thank you, first and foremost, for hosting this discussion
14 and for setting this all up. I think it's a really, really
15 important program that we're talking about. And we
16 definitely believe that this funding is going to be well
17 utilized.

18 My name is Nick Theisen. I represent Turning
19 Point Energy. We're a leading national community
20 renewables developer. And we're really excited about the
21 potential for community solar-plus-storage to make a
22 substantial contribution here in California to a number of
23 the goals of this program that have been mentioned today.

24 Among those, first and foremost, bringing
25 capacity online quickly, cost effectively delivering that

1 energy in the hours when it's needed most, and ensuring
2 that the benefits of that clean energy are flowing
3 equitably to low-income communities and disadvantaged
4 communities around the state, as recent legislation has
5 ensured that any program would.

6 To the first point about bringing capacity online
7 quickly, I'll make a comment that, from our experience,
8 some of the supply constraints that have been discussed
9 here have already begun to ease. And based on the national
10 policy environment that's improved substantially, we expect
11 that to improve considerably over the coming years.

12 One comment about the ease of permitting a
13 project that's, you know, 5 megawatts on 20 to 40 acres
14 versus, you know, a utility-scale project that might be
15 thousands of acres, you know, I think one of the big
16 advantages of community renewables is that from an
17 interconnection standpoint, as well as from a permitting
18 standpoint, we're able to get through those processes
19 substantially more quickly as we're interconnecting to the
20 distribution grid and we're able to utilize smaller pieces
21 of land, you know, potentially brownfields or industrial
22 sites, it's much more flexible. So we're able to utilize
23 land that that might be, you know, potentially more
24 favorable for permitting.

25 And in terms of being able to scale that then

1 having 20 community solar developers, each with 10
2 5-megawatt projects, that's 1 gigawatt, you're going to get
3 to a gigawatt a lot more quickly than trying to rely on one
4 massive -- you know, one person or one company developing
5 one larger, single project.

6 So we believe that we can get meaningful capacity
7 online, potentially in 2024. And I think, funding that
8 could go to support that could, you know, increasingly help
9 us, you know, be able to scale that number even larger and
10 ensure that the benefits from these projects are going
11 towards those lowest low-income and disadvantaged
12 communities.

13 Thank you very much.

14 MR. JOHNSON: Kurt Johnson with the Climate
15 Center.

16 It looks like, based on the ballpark numbers, you
17 can easily get to a couple gigawatts without breaking a
18 sweat. I mean, if we've got 13 gigawatts of rooftop solar,
19 if we're about to spend, you know, \$900 million through
20 SGIP, another \$700 million through DEBA, like just say you
21 threw that all at storage and then paired it with existing,
22 you know, solar rooftops, you've got, what, 2,800 schools
23 in California that have, I think, getting close to a
24 gigawatt of solar, you're easily going to get your 2
25 gigawatts based on the investments that have already been

1 made.

2 And then you start thinking about, oh, how do we
3 scale up, you know, thermostat, you know, connections? Oh,
4 yeah, well, if we just threw some at that, we'd get from
5 200 megawatts to a gigawatt.

6 Talking about vehicle-to-grid, well, like we
7 talked about earlier, if, in fact, we're going to have 5
8 million EVs on the road, there's, you know, 50 gigawatts of
9 capacity. So it doesn't look like it's that hard. I think
10 with some leadership from the Commission, that could be a
11 reality.

12 Thanks.

13 MR. SAMUELSON: Tim Smythe, you're able to talk.

14 MR. SMYTHE: Yes. Tim Smythe here.

15 Something I wanted to comment on. It was, I
16 think, after, I think it was Dan See's comment, there was
17 some questions about the Commission's ability to advise in
18 terms of nuclear and state policy. Something I want to
19 point out in terms of safety issues, that there was concern
20 in the legislature about the safety of nuclear power as a
21 zero-carbon energy.

22 So something I want to point out is back in the
23 1980s, I think it was 1983, the Commission was -- there was
24 actually litigation against the Commission on this issue.
25 And while the Commission, overall -- and its case actually

1 involved PG&E -- the US Supreme Court ruled for the
2 Commission. The US Supreme Court, in its ruling, also
3 pretty firmly said that the Commission and, in fact, the
4 state legislature, and the (indiscernible) of the state
5 government as a whole, do not have authority to consider
6 safety of atomic energy under the Atomic Energy Act of
7 1954.

8 So the state and the Commission could consider
9 emissions profile, environmental impacts on things like the
10 oceans, you know, cost and efficiency, cost effectiveness.
11 The US Supreme Court ruled that the Commission did not have
12 authority over safety. Now, I know there's probably some
13 people in the legislature that disagree with that ruling
14 but that is what the US Supreme Court said back in 1983.
15 So I just wanted to put that on for the record.

16 And I also just want to throw out, in terms of
17 numbers, and this goes way beyond Diablo Canyon, I mean,
18 there's other very large states in the US that build. You
19 know, Illinois built almost 12 or 13 gigawatts of nuclear
20 power within a 20-year time frame back in the 1960s and
21 1970s and 1980s.

22 So if we, you know, if we're talking even multi-
23 gigawatt numbers, there is a consideration where I think
24 nuclear has a role to play. Admittedly, anything beyond
25 Diablo Canyon, in terms of other nuclear sites, obviously,

1 would require legislation or the federal government or
2 certification that the federal government has come up with
3 a solution to spent fuel to storage, which I think should
4 be emphasized.

5 The construction-ban legislation has an opening
6 within it where the Commission it's supposed to determine
7 where the federal government stands on a waste disposal
8 mechanism and then -- and make a determination on that.
9 And I assume that's kind of like rolling process. And I to
10 be honest, I don't expect much on that, much on the federal
11 government's responsibilities for waste disposal, I don't
12 expect much to happen, but you never know. And I think
13 it's an open possibility. And even under existing
14 legislation, I think the possibility of some change at the
15 federal level where the federal government actually,
16 whether through things like consent-based siting, is able
17 to make progress on that front, I think has to at least be
18 opened as a possibility in a menu of options that maybe
19 should be put forward going forward.

20 So I thank you for your time.

21 MR. SAMUELSON: Heather Hoff, you are able to
22 talk.

23 MS. HOFF: Hi. My name is Heather. I am
24 Cofounder of Mothers for Nuclear. Our mission is building
25 a global community of support for clean energy. And I'm

1 struggling a little bit here in talks of attempts to
2 replace Diablo Canyon, which is existing firm, clean energy
3 that powers almost ten percent of our state, which is now
4 the largest -- the fourth largest economy in the world, and
5 we are still powered with 50 percent natural gas and 30
6 percent imports.

7 So with my mission in mind of clean energy, I
8 would just like to emphasize that, please, bring all of
9 these new resources, potential new construction, to bear to
10 bear to replace fossil fuels. Multiple studies have
11 already shown that preserving existing nuclear is
12 absolutely the most cost effective clean energy that we can
13 have. So I assume that if you study that, you're going to
14 find the same thing.

15 The world is shifting in terms of perceptions
16 about nuclear. You know, at Mother for Nuclear, we try and
17 help make it safe for you to change your mind. We're moms
18 and we support nuclear. We're environmentalists. We care
19 about climate. And, you know, if it's the right thing, I
20 think we should keep pushing for it, no matter how hard it
21 is.

22 Please don't limit yourself based on existing
23 state policy. A whole bunch of other states are repealing
24 their nuclear moratoriums, which, you know, Tim Smythe
25 mentioned ways to, you know, address the more moratorium in

1 his previous comment or, you know, we could consider just
2 getting rid of it.

3 So I've been advocating for Diablo Canyon for the
4 last six years. A lot of people told me that it was
5 impossible. And I would just like to say, like here we are
6 and it's not impossible, we can do these hard things. And
7 I hope we do the hard work to do the right things,
8 including Diablo Canyon, new nuclear first for out state,
9 and all of these other clean energy options that we have,
10 hydrogen, desalination, everything, so thank you for your
11 time.

12 MR. SAMUELSON: Madeline Symm, you are able to
13 talk.

14 MS. SYMM: Hi. Can you hear me okay?

15 MR. SAMUELSON: Yes.

16 MS. SYMM: Great. Thank you so much. My name is
17 Maddie Symm, S-Y-M-M, on behalf of Cypress Creek
18 Renewables. We are a California-based developer, owner and
19 operator of community and utility-scale solar and storage
20 projects. Really appreciate the opportunity to provide
21 input in this process.

22 I just wanted to say quickly that, in our view,
23 community solar and storage are going to be essential for
24 the state's near-term and long-term reliability strategy.
25 We think this is an important opportunity to provide

1 meaningful incentives to promote ownership and the
2 development of community solar and storage projects in
3 underserved communities.

4 We really appreciate the leadership of the
5 Commission, the legislature, and particularly Senator Laird
6 on this, and just look forward to working with the
7 Commission and the legislature on funding and a plan for
8 how we leverage federal dollars.

9 Thank you.

10 MR. SAMUELSON: Hanna Argento McCurdy, you are
11 able to talk.

12 MS. ARGENTO MCCURDY: Hello. My name is Hannah
13 Argento McCurdy. I'm here on behalf of Arcadia Power.

14 Until recently, one of the biggest challenges
15 facing the solar industry was the fact that a large swath
16 of the population cannot install solar panels on their
17 rooftop. Two-thirds of Americans were left out of the
18 clean energy economy because they rent their homes, lease
19 their office space, live in large buildings, do not have
20 roofs that are receptive to solar panels, or can't afford
21 the upfront cost of the panels. In California, 45 percent
22 of residents do not own their own home and thereby can't
23 install solar.

24 But now, community solar programs are helping to
25 overcome this challenge. The IRA will help community solar

1 reach a broader population by extending the investment tax
2 credit for community and rooftop solar for the next ten
3 years. The IRA adds specific new incentives for smaller-
4 scale solar projects, like community solar, that are placed
5 in low-income communities or that benefit low-income
6 households. Right now the only thing limiting the benefits
7 of community solar for low-income families is a lack of
8 effective investment in community solar programs.

9 California has the opportunity to devote
10 resources to extend the tremendous economic and
11 environmental benefits communities can provide for all
12 families, and especially in low-income families.

13 Thank you.

14 MR. SAMUELSON: Derek Chernow, you are able to
15 talk.

16 MR. CHERNOW: Thank you very much. Derek Chernow
17 on behalf of the Coalition for Community Solar Access, the
18 California Environmental Justice Alliance, and the Asian
19 Pacific Environmental Network.

20 Thank you so much to Vice Chair Gunda and the CEC
21 staff for their important work in this area. It's been a
22 great discussion today and really appreciate the
23 opportunity to address some of the attributes that were
24 mentioned earlier this afternoon.

25 Obviously, community-scale renewables and

1 storage, specifically community solar and storage, can play
2 a terrific part of these -- meeting these attributes, and
3 also meeting the state's goals for reliability, for GHG
4 reduction, and for the advancement of our environmental
5 goals and clean energy goals. And just as important,
6 community solar and storage should also meet our equity
7 goals as outlined in AB 2316 in the requirements therein.

8 While we believe that it's state budget allocation
9 under the Clean Energy Reliability and Investment Plan will
10 help projects build in order hard-to-develop areas of the
11 state, which will support local and system wide
12 reliability, any investment from the state will also
13 support the goals under AB 2316, which require that no less
14 than 51 percent of the community renewable energy project's
15 capacity would serve low-income households.

16 So I wanted to thank you for the opportunity to
17 speak and share with you those thoughts today. Thank you
18 so much.

19 MR. SAMUELSON: Bert Wank, you are able to talk.

20 MR. WANK: Thank you, Commission. Bert Wank,
21 founder and CEO of InfiniRel Corporation. We have a role
22 to make renewable energy infinitely reliable and we'll be a
23 part of the solution going forward.

24 I'd like to commend Allie Detrio's comment early
25 on community microgrids, which also have been echoed later

1 on. I think, if I'm not wrong, Allie actually started
2 writing policy in California for microgrids. So please
3 take note: She is a great supporter.

4 Now I'm supporting the community microgrid
5 efforts out of four big topics. We operate today on cell
6 phones, not landlines. Microgrids are the cell phones of
7 the energy community in the future. That's the shift, I
8 think, it goes. Now, we need to accelerate that. The
9 reason it can't accelerate today is because of a topic that
10 has been left out here, which is okay, the transmission
11 constraints.

12 But we need to consider one fact. As an example,
13 Texas spent seven years and \$4 billion in their competitive
14 renewable energy zone deployment of a transmission line.
15 We're working with Invenergy, here locally of Chicago,
16 who's doing a lot of transmission work. It just takes too
17 long. On top of that, we've got all the supply chain
18 issues.

19 Microgrids can agile deploy much faster and
20 providing the benefits, while it is actually optimized for
21 renewable, fuel cell, local, including the biogas
22 discussion we had before.

23 And lastly, there's one additional issue with
24 what is the food basket, California, every solar. We
25 cannot compromise, as is done, for example, in Virginia,

1 that fertile land is sold off for large-scale utility over
2 tariffs while compromising the other value that we have to
3 live, which is food and water. And all this points out to
4 the community microgrids will have an instrumental force.

5 Now what you get pushback from is the utilities,
6 which is exactly what happened in the last couple of weeks
7 was a Sonoma (phonetic) proposal. Utilities, you know, are
8 still the backbone for now, and they like to get the poles
9 and wires return on the investments.

10 Now if you look at Tempra (phonetic) Electric
11 model, they have started investing into community
12 microgrids. So it is a great use case to model after and
13 actually negotiate with utilities how they are supporting
14 the community microgrid effort and still are not
15 compromised over the revenue stream. So this could help in
16 balancing the Act in the transition from large-scale
17 utility to community microgrids.

18 And I'd be super stoked to participate in our
19 technology. We predict failures on electronics, like the
20 invertors, which is the mega trend. We're very excited to
21 be plugged into some pilots in the near future and I look
22 forward to working with all of you.

23 MR. SAMUELSON: Rachel Bird, you are able to
24 talk.

25 MS. BIRD: Hi there. This is Rachel Bird on

1 behalf of ForeFront Power, a California-based behind-the-
2 meter and community solar and storage developer and
3 owner/operator. Thank you to the Vice Chair and to staff
4 for today's really excellent discussion.

5 I wanted to just echo some of the prior
6 commenters' support for the forthcoming Community Solar
7 Program. California has a really unique opportunity to
8 tailor investment in community renewable energy to provide
9 meaningful incentives to low income and disadvantaged
10 communities. Community solar projects will be able to
11 scale quickly, if the rules are implemented expediently by
12 the Public Utilities Commission and could begin
13 contributing meaningful solar-plus-storage capacity in the
14 next few years.

15 Thank you for your consideration.

16 MR. SAMUELSON: Marc Costa, you are able to talk.

17 MR. COSTA: Hi everyone. Happy Friday afternoon.
18 This is Marc Costa, Director of Policy at the Energy
19 Coalition. But in addition to that, I wear the hats of the
20 Board Chair of the local government Sustainable Energy
21 Coalition, and also hold the membership in the Department
22 of Energy's GridWide Architecture Council, as well as the
23 International Energy Agency's Global Observatory on Peer-
24 to-Peer Energy.

25 Today has been a great workshop and a lot of good

1 ideas. I just wanted to highlight the role of local
2 governments as we consider to the path forward. There's a
3 lot of additional tools that are disposable -- at our
4 disposal to advance some of the systematic barriers that
5 we're discussing. When it comes to the building
6 performance standards and the fabric of our next generation
7 of new and existing buildings, the ability to engage in
8 REACH Codes, build electric vehicle infrastructure, but
9 also harnessing the power of data, which today, we don't
10 all have a crystal ball, but it sounds like we're on that
11 path of really using the technologies and analytics and
12 firms, both within the Commission and outside the
13 Commission, that are possible.

14 Permitting trends could be very critical in this
15 to understand where the loads are, to a better extent than
16 typical buildings and that kind of information that we
17 have. And I would encourage both the Commissions, CAISO an
18 and CARB, to really look at curating an ongoing, evolving
19 dataset that really leads us to something closer to a
20 crystal ball, if possible.

21 If we look at things like the Los Angeles 100
22 Plan, which was built out of a planning effort, but if you
23 also look at the Puerto Rico 100 Study, which was done out
24 of an emergency necessity, for real resilience in real
25 emergencies, there's a lot to learn from that. And

1 hopefully, California can do something similar. Those were
2 both done with a bottom-up demand-side analysis that was
3 also married with the grid analysis to look at hosting
4 capacity, and look at the high DER future, which there's
5 three or more proceedings going on currently, two at the
6 CPUC and one at the Energy Commission.

7 So, you know, this would really harness the
8 information coming from the routine studies the potential
9 and goals EE studies, the potential and goal demand
10 response studies done by Berkeley Lab, as well as the
11 ongoing high DER study with the CPUC and, I believe, one of
12 their contracted firms.

13 So treading the path to 2045 as an emergency may
14 be worth considering. The activities that we do between
15 now and 2030 for SP 350 may look very different than the
16 activities that we engage in between 2030 and 2045. So
17 with the volume of activity from the IIJA and the Inflation
18 Reduction Act, it may be the last luxury that we have to
19 really put all hands on deck and implement all the no-
20 regret strategies that we have, at one point, articulated
21 in the AB 758 Action Plan, but extend that concept to our
22 2045 pathway.

23 You know, at the same time, that volume of
24 funding is the safety net that we really need to ensure
25 equity customers are at the front of that transition and

1 have the first mover advantage.

2 So in closing, I would really encourage the
3 Commissions to think about how to seize the moment and
4 really keep 2045 as the target today and use the urgency
5 that we have with the issue in front of us to really build
6 momentum to get us to the ultimate target of decarbonizing
7 the state.

8 Thanks.

9 MR. SAMUELSON: Jeff Burke, the last hand raised,
10 you are available to speak.

11 MR. BURKE: Hi there. Can you hear me?

12 MR. SAMUELSON: Yes, we can hear you.

13 MR. BURKE: Oh, thank you. My name is Jeff Burke
14 and I am with Bright Canyon Energy. And I did want to
15 just, you know, thank everybody for all the time you spent
16 today on background information and walking us through this
17 process. This has been extremely helpful.

18 Bryce Canyon works with a number of military
19 bases across California on mission-critical resiliency
20 projects. And the way we do that is through microgrid
21 development. And I just wanted to talk about some of the
22 dual benefits that having the military in California, and
23 developing microgrids that can serve California, and keep
24 our military up and running, would have.

25 We have existing sites that we are ready to

1 deploy and that can be online rapidly. And I heard a lot
2 of great information today about, you know, approaches on
3 microgrids and things. And since they are, essentially,
4 built in building blocks, they can be sized and accelerated
5 to deploy rapidly.

6 The one thing that I wanted to put a little bit
7 of support for was I would like to see an approach that
8 includes all renewable fuels, whether it's biorenewable,
9 gas, renewable diesel. I think the wider that we cast our
10 net, the more rapidly we're going to be able to meet the
11 needs from a reliability and a clean perspective. And I
12 think that is going to be a quick way to approach how we
13 meet this resource challenge and keep the grid reliable and
14 resilient.

15 So, again, I just wanted to thank you all and I
16 look forward to working with all of you. And I think
17 everything that you guys are doing and have told us today
18 is on the correct path and look forward to participating as
19 we go forward.

20 MR. SAMUELSON: More hands raised.

21 Serg Berelson, you are able to talk.

22 MR. BERELSON: Yeah. Hi. This is Serg Berelson
23 with Mainspring Energy standing between everyone and their
24 weekend, so I'll try and make this quick.

25 So Mainspring makes a new type of clean power

1 generator called a linear generator. It's the first ever
2 to be able to switch between multiple fuel types, including
3 100 percent clean fuels, like green hydrogen and ammonia,
4 compare with solar compare with, you know, other renewables
5 delivering clean, firm power at low costs that can be cited
6 in front of or behind-the-meter, really valuable.

7 And I guess, you know, hearing a lot of really
8 thoughtful discussion today, I want to thank the
9 Commissioners, everyone who is attending, and all the
10 participants.

11 But I think one thing I really appreciate that I
12 heard today was the value of flexibility. And I encouraged
13 the Commission, in thinking through these incentives and
14 whatever programs come out of this, including DEBA and
15 others, to invest in, you know, technologies and resources
16 that can move along the curve as we decarbonize, that are
17 flexible and able to be used in a variety of ways, because
18 that really maximizes the value of, you know, ratepayer and
19 taxpayer dollars.

20 So really just a fantastic discussion today. And
21 with that, I will, I will end my comment. Thanks so much.

22 MR. SAMUELSON: Joe Henri, you are able to talk.

23 MR. HENRI: Good afternoon. This is Joe Henri
24 and I lead the Policy Team for Dimension Renewable Energy.
25 We're a community solar developer. Thank you very much,

1 Commissioners and CEC staff. It's been a really
2 interesting day, both the morning session and the afternoon
3 session. Thank you for all your hard work here.

4 I wanted to just wrap some of the community solar
5 comments here and note that you've heard from Solar
6 Landscape, from ForeFront Power, you've heard from Turning
7 Point Energy, you heard from Cypress Creek Renewables, and
8 you've heard from the Coalition for Community Solar Access,
9 about community solar. And I think the reason so many of
10 us are interested in this proceeding and in the work that
11 you're doing here is because we believe, very strongly,
12 that community solar brings you speed, it brings you scale,
13 it brings you environmental justice benefits, and no
14 regrets. It's a technology that can be deployed quickly
15 and effectively to help meet the kinds of goals that the
16 Commission has been laying out here.

17 Derek Chernow mentioned AB 2316, a brand new
18 piece of legislation, but it's already in the regulatory
19 implementation process at the Public Utilities Commission
20 where we're going to be deploying grid-connected community
21 solar projects that serve low- and moderate-income
22 communities across the state. So this is a program that
23 will deliver the scale that you need. It is inherently an
24 environmental justice program. And it will happen quickly
25 using private capital.

1 I think this is also a really important point
2 about community solar, that you don't have to pay for all
3 of it. But what you can do is take your billion dollars of
4 potential funding here and leverage it, you know, a portion
5 of it, in a way that puts community solar projects, coupled
6 with storage, in the places where they're most needed to
7 enhance grid reliability. I think this is a tremendous
8 opportunity for California. It can be done in a way that
9 is not expensive and that meets all the goals that we all
10 together are trying to achieve.

11 Obviously, there are more solutions required than
12 just community solar. But community solar, I think, can
13 play a very, very large role and very helpful role. And we
14 look forward to working with you.

15 Thank you so much for your time.

16 VICE CHAIR GUNDA: Thank you. I just want to
17 say, you know, how appreciative we are for everybody who's
18 taken time to both attend, but also provide comments,
19 really, really helpful comments, to advance the
20 conversation, and recognizing the goals here, and really
21 look forward to your written comments.

22 Just wanted to just reiterate one element of the
23 comments. It would be really, really helpful, I think, you
24 know, a few of you spoke to attributes, you know,
25 flexibility, ability to really, you know, get the resources

1 online quickly, and the scale of them, and other attributes
2 like, you know, no delays in terms of permitting. All
3 those are extremely helpful for us to consider as we move
4 forward. I look forward to hearing those in your, you
5 know, docketed comments and such, but also what you've said
6 today.

7 One other elements is just thinking through, you
8 know, as we, you know, spend this money, you know, we have
9 the \$700 million from DEBA, and then the \$1 billion, which
10 we are going to try and recommend an investment plan for
11 the legislature, to the extent that DEBA, specifically the
12 \$700 million, is tied to the goals of reliability in the
13 short term ,in the very near term, you know, we have to, as
14 a Commission, be very careful about bucketing money that
15 ultimately will not result -- ultimately might not result
16 in the megawatts we need in the timeframe we're looking at.

17 So to the extent that you can really kind of talk
18 about the -- not just the maturity of the solution, but the
19 scale at which you can deploy, would be really helpful for
20 the Commission to consider, and how to bucket these
21 different dollar amounts.

22 So, again, thank you so much. A big thanks to
23 everybody who's been in attendance and the comments, but
24 also to the CEC, CPUC, CAISO, as well as the DWR teams who
25 both presented today but have been working behind the

1 scenes to make this happen, a big thanks.

2 I want to pass it to Commissioner Houck if she
3 has anything.

4 COMMISSIONER HOUCK: Yeah. Thank you, everyone,
5 for the presentations today ,and for all of the public
6 comments and participation, a lot of really good
7 observations and questions. And I'm looking forward to
8 following the process and coordinating with my fellow
9 Commissioners at the Energy Commission. So thank you
10 again, everyone.

11 VICE CHAIR GUNDA: Thank you.

12 Back to you, David.

13 MR. ERNE: Great. Well, with that we will close
14 out this workshop.

15 And as I mentioned, we'll get the RFI out,
16 hopefully by next Friday. For additional comment, you can
17 comment in the docket for this workshop, or you can respond
18 to the RFI. And we will be having more workshops on this
19 as we further develop our methodology and our approaches,
20 so look forward to more of those workshops. And if you
21 haven't already, sign up for the docket at CEC's website so
22 you'll be notified of future workshops.

23 With that, I think we can conclude this workshop.
24 We thank everyone for their support and for their input.

25 Have a good weekend.

1
2
3

(Off the record at 4:28 p.m.)

CERTIFICATE OF REPORTER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were reported by me, a certified electronic court reporter and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

IN WITNESS WHEREOF, I have hereunto set my hand this 8th day of November, 2022.

Martha L. Nelson

MARTHA L. NELSON, CERT**367

CERTIFICATE OF TRANSCRIBER

I do hereby certify that the testimony in the foregoing hearing was taken at the time and place therein stated; that the testimony of said witnesses were transcribed by me, a certified transcriber and a disinterested person, and was under my supervision thereafter transcribed into typewriting.

And I further certify that I am not of counsel or attorney for either or any of the parties to said hearing nor in any way interested in the outcome of the cause named in said caption.

I certify that the foregoing is a correct transcript, to the best of my ability, from the electronic sound recording of the proceedings in the above-entitled matter.



MARTHA L. NELSON, CERT**367

November 8, 2022